

DOCKETED	
Docket Number:	22-IEPR-02
Project Title:	California Planning Library
TN #:	247916
Document Title:	Transcript - 101022 Q&A Report - IEPR Commissioner Workshop on Land Use Screens
Description:	IEPR COMMISSIONER WORKSHOP ON LAND-USE SCREENS IN-PERSON AND REMOTE VIA ZOOM MONDAY, OCTOBER 10, 2022 1:00 P.M.
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/5/2022 12:47:30 PM
Docketed Date:	12/5/2022

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of:

2022 Integrated Energy Policy)	
Report Update (2022 IEPR)	Docket No. 22-IEPR-02
Update))	
_____)	RE: Land-Use Screens

IEPR COMMISSIONER WORKSHOP ON LAND-USE SCREENS

IN-PERSON AND REMOTE VIA ZOOM

MONDAY, OCTOBER 10, 2022

1:00 P.M.

Reported by:

Martha Nelson

APPEARANCES

COMMISSIONER

Siva Gunda, Vice Chair and Lead Commissioner, CEC

Kourtney Vaccaro, Lead Commissioner

Alice Reynolds, President, CPUC (remote)

Clifford Rechtschaffen, Commissioner, CPUC (remote)

Nathaniel Roth, Chief Scientific and Data Advisor,
Department of Conservation

CEC STAFF

Heather Raitt, Director, Integrated Energy Policy Report

PRESENTERS

Erica Brand, CEC

Travis David, CEC

Saffia Hossainzadeh, CEC

Jared Ferguson, CEC

Ryan Hill, California Department of Fish and Wildlife

Patrick Hennessy, California Department of Conservation

Stanley Mubako, California Department of Water Resources

Maegan Salinas, California Department of Food and
Agriculture

PUBLIC COMMENT

Michael Colvin, Environmental Defense Fund

Mary Solecki, AJW

Claire Broome, 350 Bay Area

APPEARANCES

PUBLIC COMMENT (cont.)

Shannon Eddy, Large-scale Solar Association

Joan Taylor

Neil Nadler

Kate Kelly, Defenders of Wildlife

Nancy Rader, California Wind Energy Association

Ellen Wolfe, Resero Consulting

INDEX

	Page
Introduction Heather Raitt, California Energy Commission, Director, Integrated Energy Policy Report	6
Opening Remarks Siva Gunda, CEC Vice Chair and Lead Commissioner for 2022 IEPR Update Kourtney Vaccaro, CEC Commissioner Alice Reynolds, President, CPUC Clifford Rechtschaffen, Commissioner, CPUC Nathaniel Roth, Chief Scientific and Data Advisor, Department of Conservation	7
1. Presentation: Land-Use Screens: Process, Methods & Recommendations Erica Brand, Travis David, and Saffia Hossainzadeh, CEC	16
2. Demonstration: Draft Land-Use Screens for Electric System Planning Web Mapping Application Travis David, CEC	24
3. Presentation: Land-Use Screens in CPUC Integrated Resource Planning Jared Ferguson, CPUC	60
Discussion between dais and presenters	79
4. Panel Discussion on Input Data Moderator: Erica Brand, CEC Ryan Hill, California Department of Fish and Wildlife Patrick Hennessy, California Department of Conservation Stanley Mubako, California Department of Water Resources Maegan Salinas, California Department of Food and Agriculture	101
Discussion between dais and panelists	110
Public Comments	158

INDEX

	Page
Closing Remarks	177
Adjourn	179

1 attendees to participate today. First we'll be
2 reserving a few minutes after the panel
3 discussion to take some questions.
4 Unfortunately, we may not have time to address
5 all the questions submitted. But those who are
6 on the Zoom platform, you can use that Q&A
7 feature to submit questions. And you can also
8 click the up-vote to let us know if you saw a
9 question there that you also had.

10 And, alternatively, we will have a public
11 comment period at the end of the workshop. And
12 we'll be reserving about three minutes for each
13 person, one person per organization to make
14 comments.

15 And finally, we always welcome written
16 comments and instructions for written comments
17 are in the notice. And we request those by
18 November 1st, at the end of the day on November
19 1st.

20 And with that, I will turn it over to
21 Vice Chair Siva Gunda, who is the Lead for the --
22 the Lead Commissioner for the 2022 Integrated
23 Energy Policy Report update, for opening remarks.

24 Thank you, Commissioner.

25 VICE CHAIR GUNDA: Thank you, Heather.

1 Good afternoon, everybody. I think I
2 just want to begin by just expressing my
3 gratitude to you and your team for all the work
4 you do in pulling together the IEPR workshops and
5 the broader report.

6 Before we make our opening comments, I
7 would like to go to Commissioner Vaccaro here to
8 just acknowledge the special day we have today
9 and provide some comments.

10 COMMISSIONER VACCARO: Thank you so much.

11 So in honor of Indigenous Peoples Day, we
12 begin this meeting by recognizing all indigenous
13 people who call California home. In this year's
14 IEPR, we're centering equity and environmental
15 justice as the state transforms this energy
16 system away from fossil fuels to achieve a clean
17 energy future that benefits all Californians.

18 We have met with tribes throughout the
19 state to continue to build relationships as key
20 partners, including tribes as key partners in our
21 clean energy transition, and to increase our
22 cultural awareness and understanding of tribal
23 concerns to better inform our work. One of the
24 aims of the IEPR is to empower communities and
25 tribes to easily access energy information,

1 including the land use information we will
2 discuss today.

3 VICE CHAIR GUNDA: Thank you,
4 Commissioner Vaccaro.

5 I want to invite all the participants on
6 the dais today. We have Commissioner Vaccaro,
7 also joined by Nate Roth here, Chief
8 Scientific and Data Advisor for Department of
9 Conservation. And we have a couple other
10 Commissioners joining online, Commissioner
11 Rechtschaffen and President Reynolds.

12 I was inaccurately informed that
13 Commissioner Rechtschaffen was going to be in
14 person here and I didn't want CPUC to be equal
15 here on the dais, so I had to come in, so -- but
16 anyways, Commissioner Rechtschaffen, we miss you
17 here.

18 With that, I would actually like to go to
19 the comments, opening comments, from our
20 Commissioners here.

21 Commissioner Vaccaro, would you want to
22 start?

23 COMMISSIONER VACCARO: Thank you. Yes.
24 Just a few brief comments.

25 First of all, again, thank you for your

1 leadership in this space, Vice Chair Gunda. It's
2 very important work.

3 I'd like to recognize Erica, Jared,
4 Travis, Saffia, and Gabriel for an incredibly
5 impressive report that is something that is
6 foundational, I believe, to the work that we're
7 doing as we're trying to achieve this clean
8 energy transmission and the resource build out at
9 a scale and pace never seen before.

10 And so I also wanted to just recognize
11 that this is work, of course, that staff has been
12 leading. But you've also been embracing the
13 importance of looking to our state agency
14 partners and our federal agency partners. I
15 think that just improves the credibility and the
16 integrity of the work, allows for accuracy, and
17 also allows a common understanding for what this
18 data and this information is and what it isn't as
19 we move forward. I know we're going to hear more
20 about that in the presentation. But again, just
21 want to recognize this very impressive work.

22 Thank you.

23 VICE CHAIR GUNDA: Thank you.

24 Can I call on President Reynolds for any
25 opening comments you might have?

1 PRESIDENT REYNOLDS: Sure. Thank you
2 very much, Vice Chair Gunda.

3 Good morning, everyone. I wanted to
4 welcome, add my welcome, to all the panelists and
5 to members of the public who are joining us
6 today. I'm really pleased to be here with the
7 CEC leadership and my fellow Commissioner, Mr.
8 Rechtschaffen, as well as Dr. Roth.

9 I wanted to start by thanking the CEC
10 staff and the PUC staff for putting together this
11 workshop, but also for what I know was many hours
12 of collaboration and thoughtful planning to get
13 us where we are today. I do think that this is
14 an example of really visionary planning, where
15 we're trying to get ahead of issues related to
16 Land-Use Screens to maximize the usefulness of
17 the information that a form informs our work.

18 And so with this approach, we're not
19 waiting for, you know, this land use decisions to
20 be made completely organically. But instead,
21 we're thinking through how we can maximize
22 benefits and thinking through how we can have the
23 best information possible to inform our planning.

24 This is an example of one of the ways
25 that we can work to meet and even accelerate our

1 progress toward clean energy in the energy
2 sector, something I know that we all are very,
3 very focused on right now. And I do see this
4 workshop as a piece of that progress.

5 So thank you very much for inviting me to
6 share the virtual dais at today's workshop. And
7 I'm very much looking forward to the into the
8 discussion.

9 Back to you, Chair Gunda -- Vice Chair
10 Gunda.

11 VICE CHAIR GUNDA: Thank you, President
12 Reynolds.

13 Going to Commissioner Rechtschaffen.

14 COMMISSIONER RECHTSCHAFFEN: Thank you
15 very much. And apologies for not being there in
16 person or for your thinking I was going to be
17 there in person and disappointing you. I am not
18 able to join you. And I'm actually going to have
19 to leave relatively early in in the program and
20 then come back.

21 I don't have much to add to what
22 Commissioner Vaccaro and President Reynolds
23 mentioned. The work, the Staff Report is
24 extremely impressive. We, of course, use the
25 land new screens in our planning processes. We

1 use them to the SB 100 processes. They're very
2 useful throughout the administration.

3 And because the scale of the challenge
4 continues to intensify and accelerate, we know we
5 need to do more than ever. The Governor has
6 directed us to do more faster. We're in the
7 midst of a climate emergency. Getting a
8 proactive sense of how we do this in a way that
9 minimizes land use conflicts and promotes
10 development in the best areas is incredibly
11 important, more important than ever.

12 So thank you so much for the work here. And
13 I look forward to the discussion.

14 VICE CHAIR GUNDA: Thank you,
15 Commissioner Rechtschaffen.

16 To Dr. Roth.

17 DR. ROTH: It is a pleasure to be here.
18 And thank you, Commissioners, Staff for inviting
19 DOC to be a contributor to the Land-Use Screening
20 report and all of the thinking that went into it.

21 Like others have said, this is an example
22 of how we should be doing this type of work,
23 working together across multiple agencies and
24 multiple subject areas, and multiple sets of
25 conflicting issues that can all get identified

1 early and, to the extent possible, be reconciled
2 with a minimum of long-term conflict.

3 There are many really interesting
4 intersecting issues associated with this. The
5 connections, and these are just ones that I've
6 been connected to, with natural working lands,
7 mitigation and adaptation, and increased
8 resilience to climate change, 30 by 30 efforts,
9 preserving and supporting the state's sustainable
10 economic development, including agricultural use,
11 these all intersect here. And it's been
12 absolutely amazing to see how the pieces have
13 come together, supporting both DOC's, as well as
14 my connections to other portions of natural
15 resources agencies initiatives.

16 Thank you all. I'm looking forward to
17 seeing the rest of it and looking forward to
18 continuing to work with all of you in the future.

19 VICE CHAIR GUNDA: Thank you, Dr. Roth.

20 Before I hand it off to Erica and all for
21 the first presentation here, I just wanted to
22 acknowledge the leadership that the STEP Division
23 is providing in the Land-Use Screen work. So
24 obviously, it starts at the top.

25 Elizabeth Huber, who is the director now,

1 thank you, Elizabeth, for your work on, you know,
2 centering around this work.

3 Erica, you have been a wonderful change
4 agent in the organization. As Dr. Roth
5 mentioned, you know, you really work hard towards
6 improving the collaboration and you do it very
7 thoughtfully, so thank you for your work.

8 And Travis and Saffia, you guys are with
9 us at the data sites, so thank you for all the
10 work you're doing.

11 And, Jared, look forward to your
12 presentations.

13 I also just wanted to note, you know,
14 Commissioner Vaccaro's leadership and, you know,
15 former Commissioner Douglas's leadership around
16 land use work for years here at the commission.
17 So really look forward to Commissioner Vaccaro's
18 leadership on having this conversation today.

19 I also wanted to just comment that in,
20 you know, as Commissioner Vaccaro mentioned, the
21 Indigenous Day, land has huge implications for
22 equity. It means, you know, tremendous to people
23 who live on the land, but also from an
24 environmental perspective and conservation
25 perspective. So we have a lot of people that we

1 need to respect in this process and collaborate
2 with. So I look forward to continuing that
3 spirit here and pass it on to Erica for the first
4 presentation.

5 Thank you.

6 MS. BRAND: Thank you. Where's my video?
7 I'm sharing the slides

8 Well, while we're getting the slides up,
9 my name is Erica Brand. I'm a Project Manager in
10 the Land Use and Infrastructure Planning Unit of
11 the CEC's Siting, Transmission, and Environmental
12 Protection Division. Today, I'm joined by my
13 colleagues Travis David and Saffia Hossainzadeh
14 of the CEC's GIS Unit.

15 Today, our staff team will share a
16 proposal for the first phase of updates to the
17 Land-Use Screens used in electric system
18 planning. The proposal described today provides
19 an overview of the contents of a Draft Staff
20 Report that was noticed on Wednesday, October
21 5th. The title of that Draft Staff Report is
22 Land-Use Screens for Electric System Planning
23 Using Geographic Information Systems to Model
24 Opportunities and Constraints for Renewable
25 Resource Technical Potential in California.

1 In February of this year, the CEC, in
2 collaboration with the California Public
3 Utilities Commission and the California
4 Independent System Operator, hosted a workshop on
5 land use information and energy planning. At
6 that workshop, we shared that staff would start a
7 process to review and update the map-based or
8 spatial environmental land use data used in
9 electric system planning.

10 Following that workshop, the CEC staff,
11 in coordination with staff from the CPUC, led an
12 interagency process to review and vet the data
13 and methods used to develop the statewide Land-
14 Use Screens. Between now and the end of the
15 year, we're socializing this proposal and seeking
16 your feedback before issuing a final Staff Report
17 in January of 2023.

18 Next slide, please.

19 For over ten years the CEC, CPUC, and
20 California ISO have used spatial, environmental,
21 and land use data to guide their relevant energy
22 resource planning. This high-level statewide
23 land use evaluation became known as Land-Use
24 Screening. This slide reflects some of the
25 proceedings being led by the agencies and where

1 Land-Use Screens fit into the process.

2 At a high level, Land-Use Screens are
3 used in two primary ways in electric system
4 planning.

5 First, they're used to estimate the
6 renewable resource technical potential. The
7 National Renewable Energy Laboratory, or NREL,
8 defines the renewable resource technical
9 potential of a technology as its achievable
10 energy generation given system performance,
11 topographic, environmental, and land use
12 constraints. The technical potential estimated
13 after applying the map-based Land-Use Screens
14 then becomes an input into capacity expansion
15 modeling, such as the RESOLVE model for the
16 CPUC's integrated resource planning, or SB 100
17 analysis.

18 The second use is to identify, at a high
19 level, environmental and land use constraints
20 within a particular region of study and energy
21 planning, such as a geographically large
22 transmission zone or grouping of substations.
23 Jared from the CPUC will explain these uses
24 further in his presentation after the CEC staff
25 presentations.

1 Moving forward, we propose to use the
2 updated Land-Use Screens to inform the land use
3 analysis and the next SB 100 report.

4 The last point I want to make on this
5 slide is why the energy agencies used Land-Use
6 Screens and electric system planning.

7 Land-Use Screens are one example of a
8 coordinated approach across state government to
9 strategically plan to achieve the state's
10 multiple goals, including biodiversity,
11 conservation, clean energy, and sustaining
12 agricultural lands. The use of the screens
13 support increased transparency and decision
14 making and early identification of issues or
15 barriers to development, which supports long-term
16 reliability in planning for long lead time
17 investments, such as transmission.

18 Next slide, please.

19 Over time, the approaches used by the
20 agencies to Land-Use Screening have evolved to
21 meet the needs of new energy resource planning
22 processes. And I won't be going through each of
23 these boxes, but at a high level they reflect how
24 Land-Use Screens have been used over the years
25 and how they've evolved as new processes have

1 emerged. There's a full accounting of this in
2 our Draft Staff Report.

3 So over the years, new datasets have been
4 added to Land-Use Screening, such as information
5 about biodiversity, habitat connectivity, and
6 landscape intactness. And new methods for using
7 this information have been tested, such as using
8 modelling in ArcGIS, which is a mapping software
9 to combine and consider information.

10 As the methods evolved, the agencies have
11 sought public feedback through workshops and
12 various staff documents to improve the
13 approaches. And within the last 14 months, the
14 CEC has hosted three workshops to discuss Land-
15 Use Screening methods.

16 And that brings us today. Over the past
17 eight months, staff from the CEC and CPUC have
18 worked with staff from the California Department
19 of Fish and Wildlife, the Department of
20 Conservation, California Department of Food and
21 Agriculture, Department of Water Resources, the
22 United States Department of Agriculture, Natural
23 Resources Conservation Service, the Bureau of
24 Land Management, and the United States Fish and
25 Wildlife Service to review and revise the data

1 and methods used in Land-Use Screening.

2 Our updates to the Land-Use Screens aim
3 to improve on past efforts by updating data to
4 capture new information, updating data to reflect
5 new state conservation priorities and climate
6 initiatives, and updating the methods to
7 incorporate the latest agency and stakeholder
8 input. This includes addressing stakeholder
9 feedback to increase the transparency around how
10 the screens are developed.

11 These updates to Land-Use Screens are
12 part of this year's Integrated Energy Policy
13 Report Update and will be featured in the CEC's
14 forthcoming California energy planning library.

15 Next slide.

16 Today, our staff team will share the
17 details behind three proposed Land-Use Screens
18 for onshore wind and utility scale solar for
19 electric system planning. These Land-Use Screens
20 are heavily informed by and build on past
21 screening approaches. They incorporate many of
22 the same datasets, updated where newer
23 information was available from state or federal
24 agencies.

25 Of the dozens of datasets used in this

1 analysis, there are four datasets under
2 consideration which haven't been used before and
3 Land-Use Screening. Those are terrestrial, which
4 means on land, climate change resilience data
5 from the California Department of Fish and
6 Wildlife, a terrestrial conserved areas dataset
7 from 30 by 30, greater sage grouse habitat
8 management areas from the Bureau of Land
9 Management, and a dataset that represents
10 distance from a protected area.

11 You might be wondering why there are
12 three proposed options for Land-Use Screens, and
13 it's because our team proposes to use each screen
14 in a different way to support the state's
15 multiple long-term energy planning processes.
16 Having multiple screens available is consistent
17 with past screening approaches.

18 For example, the RESOLVE model, which
19 I've mentioned was used in integrated resource
20 planning and the modeling for the 2021 SB 100
21 report, has included multiple options for Land-
22 Use Screens over the years. Further, the Land-
23 Use Screens used for Buspar mapping have included
24 different datasets than the screens used as an
25 input to capacity expansion modeling.

1 Having multiple screens available creates
2 optionality. For example, Staff can model
3 pathways to achieving SB 100 under one set of
4 land use assumptions, and then model achieving SB
5 100 under a more land use constrained set of
6 assumptions, allowing us to compare differences
7 in the resource build out pattern, such as
8 changes in selected technologies or the
9 geographic distribution of selected resources.

10 The second thing that you'll see in the
11 presentation is a proposed approach to land use
12 evaluation and resource potential estimation for
13 geothermal energy resources.

14 As I mentioned earlier, this is the first
15 phase of our updates to Land-Use Screens. And
16 for this first phase, we focused on updates to
17 exclusion, biodiversity, cropland, and habitat
18 datasets.

19 The next phase of the project will
20 evaluate how to incorporate additional important
21 land use considerations, such as local land use
22 policies and ordinances, energy equity and
23 environmental justice, and future water
24 availability. I'll touch on these points more at
25 the end of our presentation.

1 And finally, CEC staff did not address
2 land use evaluation for other energy technologies
3 that plan to explore in future updates. An
4 example of that would be energy storage.

5 Okay. Next slide.

6 Okay, before we dive into the analysis, I
7 think it's important to spend a few minutes
8 describing what this analysis is and what the
9 analysis isn't.

10 So the models and the Land-Use Screens
11 that you'll see today, they're for use in
12 electric system planning, including SB 100 and
13 integrated resource planning. They're intended
14 to inform a high level estimate of technical
15 renewable resource potential for electric system
16 planning and aren't meant to be used on their own
17 to guide the siting of individual generation
18 projects, nor assess project-level impacts. So,
19 for example, these maps are not intended as a
20 project sighting tool. They help us with
21 statewide analysis.

22 Now, I'll hand the presentation off to my
23 colleague Travis.

24 MR. DAVID: Next slide, please. Next
25 slide, please.

1 Data modeling and screening, especially
2 with spatial data, may be unfamiliar to some. I
3 like to think about it being a lot like cooking.

4 Let's say I want to make a lasagna. The
5 first thing I need to do is gather the
6 ingredients, for this project, our GIS
7 developers, folks who work with data that has a
8 location component that can be compared with
9 other spatial datasets by layering them on top of
10 each other, like layers of lasagna, the GIS
11 developers, gathered spatial datasets that
12 represent the project study area, the state of
13 California, exclusion areas, lands that were
14 removed from the energy resource planning
15 consideration, and inclusion areas, lands we want
16 to ensure are considered for energy planning.

17 Combining study area exclusions and
18 inclusions is the screening process. I will
19 describe these categories in more detail later in
20 the presentation.

21 UNIDENTIFIED MALE: Is your mic on?

22 MR. DAVID: Yes. I can speak louder.

23 Next slide, please.

24 Keeping with the lasagna analogy, after
25 gathering the ingredients, the next step is to

1 prepare those ingredients, chopping the onions,
2 measuring the amount of salt, mixing the sauce,
3 and putting the whole thing in the oven. Too
4 much salt or overcooking can ruin your hard work.
5 And the same is true for modeling.

6 The GIS team filtered data, removed
7 everything that's unnecessary, adjusted ranks to
8 be on the same scale of each other, and worked
9 with subject matter experts to ensure our methods
10 were appropriate for each dataset. Then we
11 removed exclusions and added inclusions to the
12 study area to create our results.

13 The figure in the lower right is our
14 Land-Use Screen 1 process for solar. The blue
15 ovals represent input datasets, study area
16 exclusions and inclusions. The yellow rectangles
17 are changes made. And the green ovals are change
18 data outputs. This modeling approach is great
19 for going back and tweaking methodology,
20 referencing what was done and where everything
21 came from.

22 Next slide, please.

23 After the processing phase, we have our
24 results, a delicious lasagna on the left. You
25 could tell I was hungry when I made this

1 presentation. And areas with renewable resource
2 technical potential on the right. We created
3 three different results for solar, three for
4 onshore wind, and one geothermal. Saffia will
5 discuss our results more later in the
6 presentation.

7 Next slide.

8 There were several considerations on what
9 data was chosen and how we worked with it. This
10 is a statewide-scale planning effort requiring
11 our input datasets to be at a statewide scale.
12 Data changes over time; generally it gets better
13 and more detailed. So we plan to assess our
14 methods and data and rerun every two years. Data
15 that goes into this project must have a location
16 component. Much of our methods and source
17 datasets came from previous CEC Land-Use Screens.
18 And time is a factor as we need to have a product
19 in place for upcoming SB 100 modeling and CPUC
20 planning efforts.

21 Next slide.

22 We combine datasets that represent
23 categories of exclusions called technoeconomic,
24 things like high population areas, airports,
25 military installations, and modeled resource

1 potential, California Native American tribal
2 lands, and legally-protected areas, into a
3 dataset called base exclusions. The map on the
4 right shows these base exclusions colored orange.
5 Leaving the white areas called resource potential
6 base map, we further considered for energy
7 resource planning.

8 Next slide.

9 Legally-protected areas, a category of
10 base exclusions, is made up of datasets from U.S.
11 Geological Survey's Protected Areas Database,
12 things like National and State Parks, wildlife
13 reserves, and conservation areas, State of
14 California datasets, things like conservation
15 easements, and terrestrial conservation areas,
16 and other protected areas.

17 Next slide.

18 We want to ensure some areas are included
19 in energy resource planning. For this report, we
20 included development focus areas and variance
21 process lands from the Desert Renewable Energy
22 Conservation Plan. The DRECP is a plan that
23 streamlines renewable energy development, while
24 conserving desert ecosystems and providing
25 outdoor recreation opportunities. The DRECP is a

1 collaborative effort between U.S. Bureau of Land
2 Management, California Energy Commission,
3 California Department of Fish and Wildlife, and
4 U.S. Fish and Wildlife Service.

5 We may learn of other plans, studies or
6 areas designated for Energy Development to
7 include as inclusion areas in future versions of
8 Land-Use Screening.

9 Next slide.

10 Resource potential base maps, the study
11 area leftover after base exclusions were removed,
12 determines technical resource potential. Saffia
13 will discuss this later in the presentation.

14 Next slide.

15 On top of base exclusions, our team
16 excluded areas of high land suitability for
17 biodiversity, cropland, and landscape intactness
18 and proximity to protected areas. These
19 exclusions underwent modeling processes
20 themselves to make them comparable to each other.

21 Next slide. Next slide, please.

22 This is the methodology for developing
23 highly suitable lands for biodiversity. We
24 combined biodiversity and connectivity on a scale
25 of one to five, divided into grid cells at a one

1 kilometer resolution. The resulting grid was
2 separated into two categories with a threshold of
3 2.75 for screen one and 2.5 for screens 2 and 3.
4 Areas above that threshold are considered highly
5 suitable for biodiversity areas and excluded from
6 the energy resource planning and the screening
7 process.

8 Next slide.

9 A similar approach was used to determine
10 highly suitable lands for crops. First, data
11 from the Soil Survey Geographic Dataset Database,
12 California important farmland, and crop mapping
13 were combined at economy scale at proportions,
14 listed above, and resulted in a gridded area.
15 The areas were divided into two classes using
16 natural breaks (Jenks) classification method.
17 The highest category was considered highly
18 suitable for crops and excluded from the
19 screening process.

20 Next slide.

21 The suitability modeling approach was
22 used to determine areas of high landscape
23 intactness and proximity to protected areas.
24 Intactness means how much the land has been
25 disturbed by human development. It was compared

1 to how far these areas are to legally protected
2 areas. The result was gridded similar to the
3 cropland and biodiversity models. The areas were
4 divided into two category classes using natural
5 breaks (Jenks) classification method. The
6 highest category was considered highly intact and
7 in close proximity to legally protected areas and
8 excluded from the screening process.

9 Next slide.

10 More details on our modeling approach and
11 references to the source datasets used is
12 available in our Staff Report.

13 Now I'll hand it over to Saffia to
14 discuss screening.

15 MS. HOSSAINZADEH: alright. Thank you,
16 Travis.

17 To explore other land use planning
18 priorities, CEC staff developed three Land-Use
19 Screens.

20 Next slide.

21 In addition to the base exclusions for
22 solar and wind, we further reduced the land
23 footprint available for technical resource
24 potential by applying the high categories of
25 model results as exclusions. This is seen in the

1 diagram on the right of the slide. Previously,
2 the base exclusions were applied to the raw
3 resource potential to get a reduced land
4 footprint of available areas with technical
5 resource potential.

6 The base exclusions included
7 characteristics like water features, steep
8 slopes, protected areas, and now we add the Land-
9 Use Screens to these exclusions to come up with a
10 further refinement of the technical resource
11 potential distribution available within the
12 state.

13 The three CEC models that were explained
14 previously explore unique factors of land use
15 considerations, namely biodiversity of species
16 and their habitats, the cropland value, and
17 landscape and toughness. Each of these models
18 represents the combined results of multiple
19 important factors that informed the land use
20 priority.

21 The fourth topic of focus for a screen is
22 the ACE climate resilience, the climate -- the
23 ACE climate resilience dataset. This dataset
24 exhibits the likelihood that the region will
25 remain suitable for its current array of plant

1 and animal life under changing climatic
2 conditions. The future climate conditions used
3 in this analysis to create the climate change
4 resilience dataset represents the two ends of the
5 spectrum of projections for California from an
6 ensemble of climate models.

7 The areas that are screened out have the
8 highest climate resilience values, meaning they
9 could serve as climate refuges, and climate
10 adaptation strategies would seek to conserve
11 these areas.

12 Next slide, please.

13 The first screen comprises the base
14 exclusions and the high category of results of
15 both the CEC biodiversity index model and the CEC
16 cropland index model. For this screen, we
17 partitioned the CEC biodiversity model using a
18 threshold of 2.75 within a model range of 1 to 5.
19 All land areas less than 2.75 are allowed to be
20 considered for technical resource potential
21 estimates. And all and greater than or equal to
22 2.75 will be excluded. Staff referred to the
23 partitioned results as areas of higher
24 implication and lower implication.

25 In this analysis implication is defined

1 as a possible significance or likely consequence
2 of an action. For example, planning for energy
3 infrastructure development in an area of high
4 higher biodiversity has implications for other
5 land use priorities.

6 For the cropland index model, we
7 partitioned the results into two categories using
8 a natural breaks (Jenks) classification. The
9 areas where the cropland index value fell into
10 the high implication category have relatively
11 more factors that support high value croplands
12 than those in the lower category.

13 After removing both the high CEC
14 biodiversity regions, and the high CEC cropland
15 areas, the remaining resource potential for solar
16 is shown in the figure here. It's about 5.32
17 million acres, or about 650,000 megawatts by
18 using a constant power density conversion factor
19 of 30 megawatts per square kilometer.

20 For wind, the resource potential is about
21 25,000 megawatts using a power density factor of
22 2.7 megawatts per square kilometer.

23 Next slide, please.

24 Well, Land-Use Screen 2 is comprised of
25 the base exclusions, the high category results --

1 the high category of results of both the CEC
2 biodiversity index model and the CEC cropland
3 index model, and the high category results from
4 the CEC antagonists model. In this screen, a
5 slightly lower threshold of 2.5 is used in the
6 CEC biodiversity model to partition the results.
7 The lower threshold increases the amount of land
8 excluded from renewable resource potential
9 consideration as compared to the first.

10 This more stringent threshold on the
11 biodiversity model, which is used for Land-Use
12 Screens two, as well as three, was chosen to
13 capture more lands with factors that support
14 biodiversity and habitat connectivity. This
15 screen is intended to represent a more land
16 constrained scenario for analysis. So by adding
17 the intactness model results as an additional
18 screen and altering the biodiversity model
19 threshold it produces the resource potential
20 footprint seen in this figure for solar.

21 The total land area is reduced to 2.61
22 million acres, or about 320,000 megawatts. For
23 wind, the technical resource potential is about
24 12,000 megawatts.

25 Next slide, please.

1 Land-Use Screen 3 is comprised of the
2 base exclusions, the high category of results
3 from the CEC cropland model, the high category of
4 results with the more stringent threshold for the
5 CC biodiversity model, and the high category
6 results from the from the ACE climate change
7 resilience dataset. The result of merging all of
8 these exclusions results in the resource
9 potential footprint that is seen here in the
10 figure in purple for solar. This identifies
11 about 3.08 million acres of technical potential
12 or about 370,000 megawatts. For wind, there is
13 an estimated 14,000 megawatts.

14 Next slide, please.

15 Here you can view the three solar
16 resource potential areas side by side to better
17 compare the results. On the left is the resource
18 potential area in red after applying Land-Use
19 Screen 1. This is the screen with the largest
20 footprint of land with technical resource
21 potential. Solar resource potential is
22 identified throughout much of the state,
23 including concentrations in the West Mojave, the
24 San Joaquin Valley, in the northern Sacramento
25 Valley, and in the northeast corner of the state.

1 In the middle panel, the red areas show
2 the lands with technical resource potential after
3 applying Land-Use Screen 2. In this more land-
4 constrained screen, the amount of resource
5 potential is reduced. For example, east of the
6 Sierras in Inyo and Mono counties, the resource
7 has been all but removed.

8 On the right, the red depicts the
9 resource potential area under the Land-Use Screen
10 3. Most notably, the resource potential in the
11 central coastal counties have been removed, as
12 well as some areas in the northeast corner of the
13 state.

14 As anticipated the screen results vary in
15 total quantity and geographic distribution of the
16 solar resource potential. Later in the
17 presentation, Erica will describe the staff
18 recommendations for use of each of the screens in
19 the SB 100 analysis.

20 Next slide, please.

21 The results for onshore wind are now
22 displayed. The geographic distribution of the
23 onshore wind resource potential shifts
24 considerably across the screens. The resource
25 potential under Land-Use Screen 1 is shown on the

1 left. All areas of onshore wind resource
2 potential are geographically distributed across
3 much of California. The footprint covers areas
4 across the state.

5 The resource potential underlying Land-
6 Use Screen 2 in the middle panel is the most
7 land-constrained screen, like in the case for
8 solar. Smaller scattered areas with onshore wind
9 resource potential are identified throughout many
10 counties.

11 Under Land-Use Screen 3, lands with
12 onshore wind resource potential are reduced along
13 the central coast, while additional areas are
14 identified in the Eastern Sierras.

15 Next slide, please.

16 The land use evaluation methods described
17 previously were applied for solar photovoltaic
18 and onshore wind technologies. For geothermal,
19 we use a different method. Instead of starting
20 with the entire state as having resource
21 potential and removing the basic exclusions and
22 Land-Use Screens from it, we began with areas of
23 the state that are known through state and
24 federally-funded research and assessments as
25 having geothermal potential capable of utility-

1 grade power generation.

2 The sources for these areas of potential
3 development include the KGRAs, as identified by
4 the Department of Conservation Division of
5 Geologic Energy Management in their 2002
6 Geothermal Map of California. The geothermal
7 resources identified and assessed in the 2004
8 report for the Energy Commission by Lovekin, et
9 al, and Geothermics, and geothermal fields that
10 have a proposed BLM geothermal lease associated
11 with them.

12 And the reason for applying this
13 different methodology is that we require the
14 resource potential estimates to be spatially
15 explicit. And although we can derive heat from
16 the Earth's interior anywhere, there is generally
17 not enough information known about the resource
18 to estimate a generating capacity that would
19 warrant the exploration, confirmation, and
20 development of a power plant. But in most of the
21 KGRAs and other geothermal fields that we
22 considered, there is enough information with
23 sufficient certainty about the geologic
24 conditions to consider it as an area with
25 resource potential for electric system planning.

1 So after identifying these known
2 geothermal fields, we then filtered these areas
3 by whether they were entirely within a protected
4 area. Partial overlaps are allowed because of
5 the small land use footprint of this technology
6 and the flexibility in the surface placement of
7 the plant and wellheads.

8 The areas seen here in the figure are the
9 geothermal fields that remain after applying this
10 land use evaluation method on the known
11 geothermal fields. To estimate the generating
12 capacity, we took the most likely value on each
13 of these fields from the 2000 report -- 2004
14 report for the Energy Commission by Geothermics
15 and Lovekin, et al. And the capacity estimate
16 from Truckhaven was taken from the Environmental
17 Impact Statement reported by the BLM. And then
18 we subtract the capacity already in production in
19 each of these areas to get the undeveloped
20 generating capacity of about 3,000 megawatts for
21 the state.

22 Now I'll hand it off to Erica Brand to
23 talk about the next steps and using this
24 information provided here.

25 MS. BRAND: Thank you, Travis and Saffia.

1 Okay, so in the following section, I will
2 cover how our staff team recommends using the
3 updated Land-Use Screens in future SB 100
4 analysis, how our proposed Land-Use Screen 1
5 compares to the most recent screen that was used
6 as an input in SB 100 analysis that informed the
7 2021 report, our timeline for finalizing the
8 methods, the proposed Land-Use Screens and the
9 Staff Report, and then our next steps in
10 developing methods for the SB 100 land use
11 analysis.

12 So next slide, please.

13 In the Draft Staff Report, our team
14 proposes to use Land-Use Screen 1 as the primary
15 screen for estimating resource potential for
16 onshore wind and solar. Of the three proposed
17 screens, this screen identifies more lands with
18 renewable resource technical potential for
19 consideration by the modeling for SB 100.

20 Land-Use Screens 2 and 3 include
21 additional environmental and land use
22 considerations or constraints and identify less
23 land with renewable resource technical potential.
24 Our team proposes to use one or both screens as a
25 more land use constraint scenario to explore how

1 the resource build out pattern to achieve SB 100
2 would differ from the core cases. If we carry
3 over Travis's food analogy, in these scenarios, a
4 capacity expansion model would have a more
5 limited menu from which to select new onshore
6 wind and solar resources.

7 Next slide, please.

8 Next, I want to explore some of the
9 differences between the Land-Use Screen used to
10 estimate onshore wind and solar in the last SB
11 100 analysis. And the screen that we are
12 proposing to use as the primary screen in the
13 next SB 100 analysis. So let me set the stage on
14 both the previous screen and the maps that you
15 see here.

16 So in the last SP 100 analysis, a screen
17 called DRECP/SJV was used. The acronym stands
18 for Desert Renewable Energy Conservation Plan.
19 And the SJV acronym stands for San Joaquin
20 Valley. This is the same screen that has been
21 used by our colleagues at the CPUC for integrated
22 resource planning since around 2018.

23 What this screen does is it applies
24 categories one and two, which are exclusions,
25 from the Renewable Energy Transmission

1 Initiative, or RETI, and focuses on preferred
2 development areas only within the boundaries of
3 the Desert Renewable Energy Conservation Plan and
4 the San Joaquin Valley.

5 Preferred development areas are defined
6 as the development focus areas from the DRECP and
7 lands that were identified as the least conflict
8 for solar PV in a report titled A Path Forward:
9 Identifying Least Conflict Solar PV Development
10 in California's San Joaquin Valley. Those are
11 the exclusions and then those are the preferred
12 development inclusion areas.

13 So the map that you see here on the left,
14 both these maps are for solar, the map that you
15 see on the left in purple has solar resource
16 potential that was identified under the DRECP/SJV
17 screen. The map on the right shows, in purple,
18 lands that have the same solar resource potential
19 identified across both screens. So the DRECP/SJV
20 screen and the new proposed Land-Use Screen 1.
21 And in red, we show newly identified solar
22 resource potential under our Land-Use Screen.

23 So a couple of observations that our
24 staff had from comparing the two screens is that,
25 first, the new Land-Use Screen 1 identifies more

1 solar resource potential within the San Joaquin
2 Valley, as well as the West Mojave. The screen
3 identifies less solar resource potential in the
4 northern Sacramento Valley, the Modoc plateau,
5 and the Salinas Valley. These results align with
6 public feedback that our agencies have received
7 about areas of commercial interests and projects
8 that are currently in the queue.

9 And also for context, I want to compare
10 to some of the results from the 2021 SB 100
11 scenarios.

12 So in the last SB 100 analysis, the
13 amount of new build utility-scale solar, the
14 modeled land area, ranged from between 487,000 to
15 612,000 acres across the scenarios. So that can
16 be the amount of land needed for new utility
17 scale solar generation. Under Land-Use Screen 1,
18 we identify approximately eight times that
19 modeled land area requirements. We want to offer
20 the model enough flexibility to be able to select
21 resources from different areas of the state.

22 Next slide, please.

23 This slide compares the two screens and
24 the renewable resource technical potential that's
25 identified for onshore wind. This is terrestrial

1 wind. Similar colors scheme. On the left, wind
2 resource potential from the DRECP/SJV screen. On
3 the right, purple is renewable resource technical
4 potential identified across both screens, and red
5 our lands with newly identified resource
6 potential under our screen.

7 Our team had several observations when
8 comparing these screens. The first is that the
9 proposed Land-Use Screen 1 identifies fewer large
10 areas with wind resource potential and identifies
11 more distributed potential across the state.

12 For context, in the 2021 SB 100 scenarios
13 the new build utility-scale onshore wind modeled
14 land area requirements ranged from 173,000 to
15 around 209,000 acres. The resource potential
16 under Land-Use Screen 1 identifies approximately
17 11 times this much modeled land area with wind
18 resource potential.

19 Next slide, please.

20 I wanted to revisit the timeline for
21 finalizing the Land-Use Screen and the Staff
22 Report, this first update.

23 We are, today, at the workshop. Last
24 Wednesday, our Draft Staff Report was noticed on
25 October 5th. And November 1st is the public

1 comment deadline. We aim to release the final
2 Staff Report in January 2023. And it will be
3 considered at a February 2023 business meeting,
4 along with this year's IEPR update.

5 Next slide.

6 As I mentioned earlier, this is our first
7 phase of updates to the Land-Use Screens, so
8 focusing on exclusion, biodiversity, croplands.

9 An important next step for our team is to
10 conduct broader public outreach to engage other
11 stakeholders and interested persons and
12 organization in updates to the Land-Use Screens
13 and the land use evaluation for the next SB 100
14 report. We anticipate this engagement will be
15 conducted through a combination of workshops and
16 webinars, and through targeted meetings with
17 local governments and tribes.

18 After completing the first phase of
19 updates of Land-Use Screens, our team will begin
20 further developing the methods for land use
21 evaluation for the next SB 100 analysis.

22 The 2021 SB 100 report included several
23 recommendations for further analysis, including
24 two that were specific to land use. The first
25 recommendation was to analyze the projected land

1 use impacts of scenarios and opportunities to
2 reduce environmental impacts. And the second
3 recommendation was to define and include social
4 costs and non-energy benefits and future analyses
5 of which land use impacts were identified as one.

6 So finally, through feedback we've
7 received on the last SB 100 report, and from
8 outreach to update the Land-Use Screens, we've
9 heard two other important topics that our staff
10 team would like to explore as we develop methods
11 for the land use analysis to support the next SB
12 100 reports.

13 So the first is how should future
14 groundwater availability be considered in the SB
15 100 land use analysis?

16 And the second is how should the land use
17 evaluation explore the energy equity and
18 environmental justice implications of renewable
19 and zero carbon build out patterns?

20 Next slide, please.

21 Alright. Thank you all so much for your
22 time and attention. So this concludes our staff
23 presentation.

24 Next, I'm going to hand it off to my
25 colleague Travis, who will provide a

1 demonstration of the draft Land-Use Screens web
2 mapping application. This web application
3 provides an interface where the public can
4 interact with, examine, and explore the
5 preliminary data from the draft report.

6 VICE CHAIR GUNDA: Erica, just a quick
7 question.

8 MS. BRAND: Yes.

9 VICE CHAIR GUNDA: First of all, that was
10 an amazing presentation.

11 Just looking that we are a few minutes
12 ahead of time, could we -- are you okay with
13 taking a few questions from the dais?

14 MS. BRAND: Sure.

15 VICE CHAIR GUNDA: Okay.

16 COMMISSIONER VACCARO: Great. Thank you.

17 Well, again, I echo the compliments on
18 the presentation. It's not always easy to talk
19 about data, datasets, modeling, and do it in such
20 a clear way. So just thanks to the team for the
21 effort that you took there to make it
22 understandable to anyone, especially people who
23 don't do this type of work.

24 So I just had a couple of questions, and
25 another observation, which is, first of all,

1 thank you so much for the introductory screen.
2 That really level-set on intended use. I think
3 that's really important and something that we
4 need to continue to underscore in the outreach
5 and engagement as we talk about what this means
6 and what it doesn't mean at a very specific
7 project level. So really, thank you for that,
8 that foresight there.

9 I had a question. This is really more
10 about the geothermal. It was kind of interested,
11 you know, as I was looking at the maps. And if
12 you could talk a little bit about which KGRAs are
13 identified in the map, as you get to Southern
14 California? I'm presuming part of that is the
15 Salton Sea KGRA, but I really couldn't tell. And
16 it seems like it identified about 1,400 or so
17 megawatts, roughly speaking.

18 And so I just was curious, is that
19 multiple KGRA's? Is that really just the Salton
20 Sea KGRA? And if you could just sort of talk
21 that through just a little bit, if you're
22 comfortable doing that now? And if you want to
23 save it to later, that's fine as well.

24 MS. HOSSAINZADEH: Yeah. Sure. I could
25 talk a little bit about that now. Yeah.

1 If we go back to that slide in that
2 figure, there's a cluster of geothermal fields in
3 the Imperial County. And, yeah, the main one,
4 which has like I think 1,476 undeveloped
5 megawatts there, that is from the Salton Sea
6 KGRA, what's labeled as the Salton Sea. Yeah.
7 Yeah. Yeah, let me --

8 COMMISSIONER VACCARO: Do you want to
9 save that or come back with answers to that? Not
10 trying to put you on the spot, I was just
11 curious.

12 MS. HOSSAINZADEH: Yeah. The other -- so
13 as you go kind of like clockwise around those
14 polygons there, there's a little tiny sliver
15 that's called the North Brawley Geothermal Field,
16 and then there's the East Brawley Geothermal
17 Field, and then East Mesa, and then Heber, and
18 then South Brawley, And then Truckhaven.
19 Truckhaven is the 50 megawatts to the southwest
20 of Salton Sea, or maybe to the west. Yeah, there
21 are a few other geothermal fields, actually, east
22 of East Brawley and East Mesa that got excluded
23 due to the protected areas screen.

24 MR. DAVID: I should add that a public-
25 facing web mapping application that we've

1 developed will allow you to zoom into those areas
2 and click on them and determine their name.

3 COMMISSIONER VACCARO: Yeah. Thank you.
4 That's really helpful. Just, again, this is an
5 example of how work we do on one area interfaces
6 with other. So there's a lot of effort, as many
7 of you know, in terms of Lithium Valley
8 development, there's a vision for that and a lot
9 of work being done by the Blue Ribbon Commission
10 on Lithium Extraction in California.

11 And so I think people there will be
12 interested to use the tool -- I know you're going
13 to take us through it, Travis in a minute -- but
14 to kind of see what that means too. I feel like
15 there's good information here that's also useful
16 for that work that we're doing and another area.

17 And then I just had one final question
18 for you, Erica, which is related to the phase two
19 work that you're talking about. I'm not sure if
20 I caught kind of the projected timeline for when
21 phase two begins or if that's going to be
22 parallel work.

23 MS. BRAND: So my goal is to really start
24 kicking off that work before the end of this
25 year, so that we can work through and develop the

1 methods to be aligned with the next SB 100
2 analysis which, based on my current timeline, has
3 us wanting to have proposed methods by around
4 this time next year, so around fall, so --

5 COMMISSIONER VACCARO: Thank you all for
6 letting me ask the question, so --

7 MS. BRAND: Yeah.

8 VICE CHAIR GUNDA: I just wanted to make
9 sure, Commissioner Rechtschaffen raised his hand,
10 And I see his audio is connecting. But while we
11 wait for him, can I just ask one quick question?
12 I'm going to look at Heather. When she says cut
13 off, I'll turn it off.

14 So you mentioned, Erica, on the Screen 1,
15 we have approximately 11 times the wind
16 potential, is what you mentioned. My
17 recollection on the SB 100, we had about 10 gigs
18 of onshore wind. And one of the screens said
19 it's 25 gigs of wind is the potential. I just
20 wanted to kind of -- is it because you're
21 accounting for better energy densities or --

22 MS. BRAND: I think the numbers that I
23 presented were for California onshore wind, and
24 so I wasn't thinking about contribution of
25 Western. That might be one difference there.

1 VICE CHAIR GUNDA: Commissioner
2 Rechtschaffen, did you did you have a question?

3 Alright, we'll pass it back to you.

4 MR. DAVID: Making sure that I have
5 control. Okay. Alright.

6 So now that we've discussed our screens,
7 we want to make them available to everyone so
8 that we can get some feedback and talk about
9 revising them.

10 This web mapping application is available
11 through a web browser, and you can find the link
12 to it through the workshop docket log. It's in a
13 docket called Land-Use Screens for Electric
14 System Planning Web Mapping application. And on
15 that docket, you can scroll down and get a link
16 that brings you right here to the application
17 that you can see.

18 And it's very simple, where we have the
19 results of our modeling efforts loaded onto this
20 web map. On the left hand side of the screen, it
21 shows what layer is currently active. By
22 default, only the Screen 1 solar resource
23 potential is active. But if you look over on the
24 right hand side of the screen, there's a layer
25 list of three categories of data. You can expand

1 these categories. And the data that's on here is
2 an existing electric transmission infrastructure,
3 substations and transmission lines, proposed
4 resource potential areas, which are the three
5 solar screen -- the three solar resource
6 potential screens, and the three onshore wind
7 resource potential screens.

8 And then there's the resource potential
9 base maps where you get the resource potential
10 base map for solar, wind and geothermal. And you
11 can toggle on and off these by clicking on the
12 "i" symbol next to it that says, "Show layer" and
13 I can show the resource potential base map
14 information in relation to the screens. And then
15 it shows what is active on the left hand side in
16 the legend.

17 You can scroll around in the map. You can
18 zoom in and out. There's buttons, like the plus
19 sign and the minus sign, it shows you how to do
20 that. If you zoom in too much the layers will
21 disappear as this is a statewide scale and the
22 data is not meant for the local level. We made
23 it so that it disappears after you zoom in too
24 far.

25 If you're interested on what a dataset --

1 what went into a dataset in the layer list, you
2 can click on the "i" symbol to the right, the
3 details, and that brings you to a page that talks
4 about all of the datasets that went into it, what
5 methodology there was, and then depending on who
6 has access, so because we're developers, we have
7 direct access, so we have more tool options here
8 than other people would see, just by viewing.

9 Go back, please.

10 Well, in the application, it's
11 designed -- it knows what screen size you're
12 viewing it on, and it's actually configured. So
13 if you're viewing it on a tablet or a phone, it
14 will be streamlined for that interface, too.

15 And that's all I really wanted to talk
16 about with the screening app.

17 VICE CHAIR GUNDA: Just a question.

18 So just connecting, you know, next steps
19 in terms of local engagement and stuff, if a
20 certain local authority wanted to kind of, you
21 know, understand how much technical potential we
22 have laid in, in their county, you know, you
23 could quickly pulled it out from here?

24 MR. DAVID: You could view the resource
25 potential in that county. We made it so that

1 that data isn't downloadable at this point. But
2 we could make it so that they could download the
3 data and look at it in relation to their
4 infrastructure, things like that.

5 Right now it's just a polygon, so we
6 could go farther and divide that polygon by
7 different units of measure, like counties, and
8 then calculate acreage, calculate areas, we could
9 do things like that. But you could estimate
10 areas using the application.

11 And one of the tools that's on the
12 mapping feature is a measuring tool, do you can
13 measure distances. So you can toggle on energy
14 electric infrastructure, like substations and
15 transmission lines, measure the distance between
16 like a substation of interest and one of the
17 potential areas, figure out how far away it was,
18 and then you could draw polygons around an area
19 and figure out what size polygon you draw, as
20 well.

21 VICE CHAIR GUNDA: Well, just one of
22 piece.

23 We currently have, also, information on
24 existing areas that were already developed,

25 MR. DAVID: Existing area of what?

1 VICE CHAIR GUNDA: Areas that
2 have already been developed.

3 MR. DAVID: Oh, developed. Yes, there's
4 datasets. That would be in technical.

5 MS. BRAND: Oh, in terms of energy
6 projects that have already been developed?

7 So I know that the CEC has some datasets
8 for solar footprints but I don't know the year
9 that they go through, so that might be something
10 that our team could potentially update in the
11 future. That might be an interesting overlay.

12 MR. DAVID: We do have power plant data,
13 so we know where existing power plants larger
14 than one megawatt are in California that could be
15 added to the application.

16 VICE CHAIR GUNDA: Yeah, it may be
17 helpful. And kind of two questions pop out for
18 me is like, as you think about the resource
19 potential, what has already been developed would
20 be a good thing to know. And also, second thing,
21 when you talked about the DRECP versus this,
22 we've isolated regions that are new, right, in
23 red, and then areas that are, you know, together,
24 which is blue, but then which areas did we drop,
25 right, would be also helpful, and to just talk

1 about why we dropped them or like how things are
2 evolving, so --

3 MS. BRAND: And for those that are
4 interested in the Staff Report, we have several
5 figures that compare counties in terms of
6 technical resource potential. So we do have a
7 breakdown of some of that information in the
8 Staff Report.

9 DR. ROTH: So another -- a couple --
10 there's probably a small family of questions for
11 you.

12 First, congratulations on explaining some
13 very dense material. And I say that being a
14 person that does it on a regular basis, that it's
15 really hard to do and I think you've done a very
16 nice -- a very good job with that.

17 One of the realities of modeling is that
18 modeling is never perfect. You're always missing
19 something that you're interested in. And your
20 data is rarely as good as you would like it to
21 be.

22 Were there any really significant gaps in
23 the data or the subject areas that you were able
24 to approach that you think would be targets for
25 next sets of improvements to the efforts?

1 MR. DAVID: I feel that the categories of
2 information that we chose, I mean, could always
3 be enriched with alternative datasets, but we/I
4 stand by our decisions by the datasets that are
5 currently in there but there could always be
6 additions to it, and there could be additional
7 categories.

8 I know it's a big day for equity right
9 now. And I think that there could like
10 potentially be like an equity screen that's added
11 or something like that. That was my feeling on
12 it.

13 MS. BRAND: I would add the information
14 about future groundwater availability. I think
15 that that is going to be an important
16 consideration in thinking through a number of
17 agricultural-related datasets. Moving forward,
18 I'd say that's the gap right now.

19 And then one that we've discussed before
20 is our model is focused on cropland, so lands
21 used to produce crops, and it does not include
22 grazing lands, for example. There's some other
23 things that fit under the broader umbrella of
24 agriculture that are not included in the model at
25 this time.

1 DR. ROTH: Thank you very much.

2 VICE CHAIR GUNDA: Thank you.

3 I think, Saffia, did you have something
4 you want to add?

5 MS. HOSSAINZADEH: Erica basically said
6 it.

7 VICE CHAIR GUNDA: Oh, yeah.

8 MS. HOSSAINZADEH: So, yeah.

9 VICE CHAIR GUNDA: Awesome. Thank you.

10 Alright, with that, we could move to the
11 next agenda item.

12 MS. BRAND: Okay. Great. So I'm really
13 excited to introduce our colleague from the
14 California Public Utilities Commission, Jared
15 Ferguson, a Regulatory Analyst on their
16 Integrated Resource Planning Ream. And we worked
17 in close partnership with Jared and his
18 colleagues on developing this proposal. And
19 Jared is going to share more with us today about
20 how Land-Use Screens are used in the CPUC's
21 integrated resource planning.

22 Thanks for being here, Jared.

23 MR. FERGUSON: Thanks, Erica. And thanks
24 for inviting me to present this workshop today.

25 As Erica said, I'm an analyst with the

1 Integrated Resource Planning Team in the Energy
2 Division at the CPUC. And I'm going to talk
3 about the role of land use and environmental
4 screens within integrated resource planning
5 activities.

6 Next slide, please.

7 So I'll give a brief refresher for
8 everyone on what is integrated resource planning
9 and how it interacts with the various processes
10 within the larger electric planning ecosystem.

11 I'll talk about the most recent products
12 developed by the IRP, the preferred system plan,
13 and the portfolio transmitted to the ISO for the
14 current transmission planning process. Both are
15 products that utilize Land-Use Screen data and
16 which are done in collaboration with the CEC.
17 I'll go into more detail about how we use land
18 use currently in those two processes. And then
19 finally, I'll talk about our staff plans to
20 incorporate these proposed new Land-Use Screens
21 into our future work.

22 Next slide, please.

23 Established by SB 350 in 2015, IRP is
24 meant to guide the electric sector resource
25 planning and help the state achieve its

1 greenhouse gas production goals at least cost and
2 while maintaining system reliability. We do that
3 by looking across the boundaries of the
4 individual load serving entities, or LSEs,
5 towards looking towards the whole electricity
6 system. The goal is to identify resource after
7 optimization opportunities and identify issues
8 that may not be apparent when looking at things
9 on an LSE-by-LSE level.

10 The goal of the just-started 2022-2023
11 IRP cycle is ensure that the electric sector is
12 on track between now and 2035 towards achieving
13 the deep midcentury decarbonization goals of SB
14 100.

15 And a typical IRP planning cycle is
16 broken down into roughly two halves. The first
17 half, which is led by the Commission and its
18 staff is where the CPUC identifies an optimal
19 portfolio for meeting the state policy objectives
20 objective and then set requirements for the LSEs
21 to plan towards. We give the 40-plus LSEs clear
22 filing requirements and a due date to describe
23 how they will meet their individual GHG targets
24 through an optimal mix of new and existing
25 resources while achieving the reliability and

1 other metrics that we set.

2 In the second half of the cycle, that
3 starts after LSEs have submitted their plans to
4 us. The CPUC collects and aggregates those
5 portfolios and compares them to the electric
6 system that would result from there. We then
7 compare their -- we aggregate them and compare
8 that electric system that would result from their
9 planning to the previously identified more
10 optimal system that we had developed in the first
11 half.

12 We use that work to eventually adopt a
13 final preferred resource portfolio through a
14 commission decision that goes into effect for use
15 in planning and procurement.

16 Next slide, please.

17 This is an often used slide by IRP staff
18 that just shows how IRP fits into that broader
19 electric sector planning ecosystem. There's a
20 lot on this slide, so I'm not going to go into
21 too much detail, but I just added it here to
22 really show the scale of the interagency
23 coordination and the dependencies that the
24 various processes have on each other, both at the
25 CPUC, but also at the CEC and the Cal ISO.

1 IRP itself relies on the higher level
2 policy guidance provided by the Air Resources
3 Board Scoping Plan and the Joint Agency's SB 100
4 work. It also relies on the CEC's Integrated
5 Energy Policy Report for demand forecasts and
6 scenarios, as well as for key cost inputs.

7 IRP then feeds into the Cal ISO's
8 transmission planning processes and into the
9 LSE's planning themselves and their procurement
10 orders, when necessary.

11 It's, as I said, it's a complicated web
12 with lots of arrows pointing every which way, but
13 it works to ensure that the state agencies and
14 market actors are moving together in the same
15 direction so that our generation and transmission
16 system is on track to meet our climate goals
17 while maintaining reliability and affordability.

18 Next slide.

19 So the CPUC adopted the 2021 Preferred
20 System Plan, that's sort of the final part of the
21 two-part IRP planning cycle. CPUC adopted the
22 first Preferred System Plan in 2021 -- or sorry,
23 the 2021 Preferred System Plan in February of
24 this year. That decision lowered the greenhouse
25 gas target to 38 million metric tons by 2030.

1 The plan also required LSEs to submit their own
2 plan for the upcoming -- or the current IRP
3 cycle, the 2020-2023 cycle, detailing how they
4 will meet their own share of that 38 million
5 metric ton target.

6 The decision also required LSEs to make
7 plans for a more stringent 30 MMT target by 2020
8 30. And just for reference, because the CPUC
9 asked ISO to plan out to 2035, those two targets
10 are roughly 30 MMT by 2035 and 25 MMT by 2035.

11 The PSP decision also included the PSP
12 portfolio, that optimal amalgamation of all the
13 IRP plans and additional CPUC modeling. And this
14 portfolio had over 25 gigawatts of new supply-
15 side renewable resources and 15 gigawatts of new
16 storage and demand response resources by 2032.
17 And I have here just a figure that shows that
18 that projected new resource need out to 2032 by
19 year, and then a table summarizing the various
20 resources by resource type.

21 Next slide, please.

22 So that PSP portfolio was transmitted to
23 the ISO for use in the 2020-2023 transmission
24 planning process as the base case portfolio. So
25 the TPP is the ISO's annual transmission study

1 which traditionally analyzes transmission needs
2 on a ten-year time horizon to assess future
3 reliability, economic, and policy-driven
4 transmission needs.

5 The base case portfolio that the CPUC
6 transmits each year is utilized by the ISO to
7 identify transmission solutions that then go
8 before the ISO Board of Governors for approval.

9 The CPUC also will transmit sensitivity
10 portfolios and for this TPP the CPUC transmitted
11 one sensitivity portfolio. And sensitivity
12 portfolios are intended to provide additional
13 transmission information on certain key issues
14 that are important for identifying transmission
15 needs for various policy goals. And
16 historically, the transmission solutions that
17 have been identified by these sensitivity
18 portfolios have not gone before the Board of
19 Governors for approval.

20 And the sensitivity portfolio that we
21 passed to the ISO this cycle focused on the more
22 stringent 30 million metric tons greenhouse gas
23 target by 2030, and utilize a higher load
24 scenario, the additional transportation
25 electrification grid planning scenario developed

1 by the CEC as part of its 2021 IEPR.

2 Finally, the portfolio --

3 (Mr. Ferguson's Zoom audio fails)

4 MR. FERGUSON: So the table and chart
5 here show the resource build comparisons between
6 the two TPP portfolios. On the left is the table
7 by resource type and for the 2032 study of the
8 base case, and then the 2035 study year of the
9 activity. And then to the right is the chart
10 showing the same thing.

11 The sensitivity, as you can clearly see,
12 has more than doubled the resources being studied
13 in the base case, and has additionally
14 significant amounts of geothermal out-of-state
15 wing an offshore wind, all long lead time
16 resources with significant transmission
17 development questions.

18 Next slide, please.

19 So the development of the IRP resource
20 portfolios that I just discussed and their
21 preparation for transmittal to the ISO are the
22 two key areas in which the CPUC utilizes land use
23 analysis. In first case, the development of the
24 portfolios themselves, IRP staff utilizes the
25 RESOLVE capacity expansion model that Erica had

1 referenced earlier to support the development of
2 the portfolios. We use it to create an optimal
3 least cost portfolio that informs what types of
4 resources and how many are needed within specific
5 time horizons.

6 Land-Use Screens serve as an input into
7 the result model to help determine the magnitude
8 and location of resource potentials that the
9 model can then optimize amongst.

10 The second and probably more intensive
11 implementation of Land-Use Screens is in the
12 preparation of the portfolios to be transmitted
13 to the ISO. The IRP resource portfolios consist
14 of geographically coarse amounts of resources.
15 But to be studied in the TPP, the ISO needs those
16 resources at a busbar or substation level of
17 granularity. Thus, the resource for mapping is
18 the process by which a Working Group comprised of
19 CPUC, CEC, and ISO staff map the higher-level
20 resources that have been selected in the
21 portfolios to those specific busbars or
22 substations.

23 The mapping process follows a
24 methodology, which has been publicly vetted by
25 stakeholders, and relies on a variety of criteria

1 to identify optimal locations for those
2 resources. And this criteria naturally includes
3 land use analysis. I'll go into more details
4 about both of these points of use next.

5 Next slide, please. I think you skipped
6 two slides. Thank you.

7 IRP and RESOLVE models themselves have a
8 broad array of inputs and assumptions. These
9 assumptions include resource potentials for
10 various renewable resources across both
11 California, but also the wider west. And we rely
12 on the Land-Use Screens to help establish those
13 resource potentials.

14 The inputs and assumptions for IRP and
15 the result model were last developed at the start
16 of the previous IRP cycle, sorry, not current,
17 we've just started a new one, the previous IRP
18 cycle back in 2019. Since they were developed,
19 we have had some updates for resource costs and
20 updated information on transmission limits, but
21 we have not updated the resource potentials.

22 With the start of the new IRP cycle,
23 staff are working on an update on the inputs and
24 assumptions (I&A). This effort was kicked off
25 this past September, a month ago, with a modeling

1 Advisory Group workshop. And part of these
2 updates that we're doing for the I&A will include
3 an overhaul of the resource potentials in the
4 RESOLVE Model resource areas. And for that work,
5 the CPUC staff are planning to utilize the new
6 CEC Land-Use Screens that are being developed.

7 Next slide.

8 So this map and table here on the right
9 illustrates how Land-Use Screens are incorporated
10 into RESOLVE resource potentials currently. The
11 current Land-Use Screens that we use were
12 developed and implemented with CEC staff
13 collaboration back, starting in 2016, as Erica
14 noted, or even 2015.

15 The technical potentials of the resources
16 which account, as Erica was explaining, how the
17 resources -- which resources can physically be
18 built in an area are filtered through a set of
19 environmental screens. And RESOLVE has the
20 options to have multiple resource potentials to
21 choose between.

22 And for the PSP portfolio and the recent
23 TPP portfolios that I've shared, the
24 environmental screens utilized are the exclusion
25 of the renewable energy transmission initiative,

1 category one and two land. And then also for the
2 two specific study areas that have been
3 discussed, the Desert Renewable Energy
4 Conservation Plan and the San Joaquin Valley
5 Solar Assessment, we included only those
6 specifically identified development areas and the
7 two regions.

8 And so the map on the top left is an
9 example of the resource potentials that we have
10 for solar resources.

11 Now for RESOLVE, which is a zonal model,
12 so it has some coarse geographic granularity, and
13 so to potentially bend the resource potential
14 statewide into RESOLVE areas, we are guided by
15 the ISO's 2019 transmission zones, which are
16 mapped on the right. So, basically, we overlay
17 the resource potential and the transmission zones
18 to identify key resolved resource areas. And
19 those -- a few examples of those are shown in the
20 table on the bottom with their corresponding
21 megawatt solar potentials that are currently in
22 the RESOLVE model.

23 For the updates to the resource
24 potentials that we are planning, as I said, we're
25 planning use the new Land-Use Screens to obtain

1 the resource potentials, but then we are also
2 going to be overhauling the resource areas
3 themselves to account for the new ISO
4 transmission constraints that the ISO has
5 updated. So the combination of the new Land-Use
6 Screens and the new transmission constraints will
7 be utilized to create the new resource
8 potentials.

9 Next slide.

10 The second use of Land-Use Screens occurs
11 during the busbar mapping effort. As noted, it's
12 a joint effort by CPUC, CEC, and ISO staff
13 utilizing an established methodology. In busbar
14 mapping, the Working Group seeks to optimize
15 maps' resources alignment with the following five
16 criteria. An economical distance to a substation
17 of appropriate voltage. The availability of
18 existing transmission capability or cost
19 effective transmission upgrades. The goal for
20 three is to limit potential land use and
21 environmental impacts. Four is to optimize
22 alignment with existing commercial development
23 interests. And the fifth one is to have
24 consistency with the prior years TPPs base case
25 portfolio mapping.

1 The role of Land-Use Screens is primarily
2 criteria three, but also highlighted is criteria
3 one, that distance to substations because land
4 use analysis also affects that screen, as well.

5 I will note that those screens are
6 predominantly, particularly the environmental
7 screens, are for solar, wind and geothermal. We
8 have some additional separate screens for battery
9 storage including prioritizing mapping to air
10 quality nonattainment areas and aligning the
11 location of standalone storage with retiring gas
12 plants.

13 In this mapping effort that we conduct
14 each year, that ISO staff provide the
15 transmission constraints capability limits and
16 upgrade information and provide guidance on the
17 transmission implications of the mapping, while
18 the CEC staff compile and conduct the land use
19 analysis that goes into criteria one and criteria
20 three. And we currently use an array of
21 datasets. The current datasets we're using are
22 listed in that table to the right, which are a
23 combination of CEC-developed datasets, and then
24 Department of Fish and Wildlife Areas of
25 Conservation Emphasis datasets.

1 And then the top map just shows a
2 depiction of the completed mapping results of the
3 recent 2020-23 TPP base-case portfolio. The map
4 has the resources by substation location, while
5 the chart shows those the map resources broken
6 down into broad resource areas.

7 Next slide, please.

8 So now I'm going to focus on a little
9 more detail on how the current Land-Use Screens
10 are applied specifically to that criteria three
11 analysis.

12 In the criteria three analysis, the Land-
13 Use datasets are applied at a substation level,
14 overlaying them on the resource potential used in
15 RESOLVE. We then focus on resources that are
16 within an economical distance from existing and
17 proposed substations.

18 And we split that criteria three analysis
19 into two parts. In the first part, we utilize an
20 environmental implications layer developed by the
21 CEC which combines the intactness biodiversity
22 and connectivity datasets that were listed in the
23 table on the previous slide. It is normalized
24 into a single layer and splits resource
25 potentials into higher or lower potential

1 environmental impact implications.

2 The figure at the top right of this slide
3 shows that criteria three, part A analysis for
4 solar resource potential at the Kramer Substation
5 in Northwest San Bernardino County. In this
6 figure, the red and yellow colored areas are the
7 available solar resource potential areas. The
8 noncolored areas are -- and the hashed out areas
9 are locations that have been screened out through
10 that original technote economic limitations, and
11 through the Land-Use Screens applied in the
12 development of the resource potentials for
13 results. So that's how you see like Edwards Air
14 Force Base is not included. And also there's
15 Areas of Critical Environmental Concern that been
16 excluded through BLM data.

17 The red colored areas that are the
18 resource potential available areas indicate areas
19 of high possible environmental implications,
20 while the yellow indicates the lower potential
21 environmental implications. The two circles
22 centered around the substation indicate the area
23 that's within 10 and 20 miles of the substation,
24 those circles factored into that economical
25 distance from the substation. We prioritized

1 looking at land within ten miles. And if there's
2 not enough for high environmental concerns, we
3 expand out to 20 miles. And for solar, in
4 particular, we don't look beyond 20 miles for
5 other resources. When there are geothermal that
6 are in more fixed locations, we have different
7 distance requirements.

8 And so with this analysis, we -- the
9 Working Group seeks to avoid mapping the
10 amount -- an amount of solar that would utilize
11 more than a fixed percentage of the lower
12 potential application area. So for this Kramer
13 location, there is actually very little low
14 environmental implication in that ten mile
15 radius, so we would try to either map only a
16 small amount of megawatts or, if we're going to
17 decide to map a larger amount of megawatts, we
18 would say that we would likely have to map it
19 further away from -- it would likely have to be
20 built further away from the substation if it were
21 to develop.

22 The second part of the criteria analysis
23 for three, part B, assesses the impacts from each
24 dataset individually. So for part A was this
25 amalgamation layer of three datasets. In part B,

1 we're looking at the datasets individually. Each
2 dataset is overlaid on the resource potential
3 around the substation to assess what percentage
4 of that resource potential is in an area of high
5 impact for that specific dataset.

6 And the bottom table here shows that
7 analysis again, for the Kramer Substation for
8 solar resources. You can see for Kramer, a large
9 percentage of that resource potential area within
10 that ten mile sphere is and -- does have high
11 potential impacts for within the biodiversity
12 dataset, as well as the rare terrestrial species
13 habitat dataset. So this information also
14 factors into how much the Working Group would
15 decide to then map to the substation.

16 Next slide, please.

17 So that was an overview of how Land-Use
18 Screens are currently utilized in an IRP. And so
19 on this slide, I'm just going to summarize sort
20 of how the CPUC staff plan to utilize the new
21 proposed screen in, basically, a very similar
22 manner.

23 As I noted earlier, CPUC staff are
24 currently updating the inputs and assumptions for
25 IRP. And staff plan to use the Land-Use Screens

1 to develop the new resource potentials for solar,
2 wind, and geothermal within California.

3 We kicked off the I&A update last month
4 and are expecting to wrap up the document, I&A
5 document, developed either by the end of 2022 or
6 early 2023.

7 On the busbar mapping side, busbar
8 mapping for the upcoming '23-24 TPP is already
9 underway currently. And so we are using existing
10 Land-Use information that I just presented. CPUC
11 staff plan to work with CEC staff through the
12 busbar mapping workgroup to incorporate the new
13 Land-Use Screens and do busbar mapping for the
14 following 2024-2025 TPP cycle.

15 For that, we are still considering how to
16 overhaul the Land-Use analysis and busbar mapping
17 to best utilize the new screens. That but our
18 mapping methodology update will likely begin in
19 Q2 or Q3 of next year, after we've completed that
20 and transmitted the 2324 TPP portfolios. And for
21 through that busbar mapping methodology
22 development process, we would be seeking
23 stakeholder review and feedback of any
24 methodology update.

25 I'll wrap up my presentation there. And

1 thanks to the Committee and this workshop, very
2 much, for having me.

3 MS. BRAND: Thank you so much, Jared.

4 I think we have time now on the agenda
5 for questions from the dais if there are any
6 remaining to our, CEC staff, presentation or
7 Jared's presentation.

8 VICE CHAIR GUNDA: Yeah, we'll jump into
9 it. Thank you, Jared.

10 I just want to say, Erica, thank you for
11 setting the stage at the top of those excellent
12 presentations.

13 I liked the lasagna analogy, Travis.
14 That was really helpful.

15 And Saffia and Jared, thank you for all
16 the presentations.

17 So maybe I just want to ask a couple of
18 questions to Jared, and then we can kind of
19 circle back.

20 Jared, on kind of the timing for the
21 current IRP process, the '22-23 was completed;
22 right? So the '23-24, when will it be completed?

23 MR. FERGUSON: So the ruling for the '23-
24 24 TPP portfolios went out on Friday. And we
25 need to -- the CPUC needs to transmit those

1 portfolios to the ISO in early February. That's
2 to keep in line with the ISO's planning. So the
3 February 2023 is when the portfolios will be
4 transmitted to the ISO for the '23-24 TPP.

5 VICE CHAIR GUNDA: Got it. Thank you.

6 My other question, on the sensitivity
7 study that we -- the CPUC has conducted, you
8 know, is the 30 million metric tons by 2035, in
9 alignment with the new newly mandated 90 percent
10 by 2035?

11 MR. FERGUSON: So it's, yes, it's -- so
12 30 MMT by 2030 which -- because that's the
13 traditional standard and it's -- so 20 to 25, I
14 believe, by 2035. And it's in RESOLVE.

15 The RESOLVE, when RESOLVE calculate it,
16 by 2035, it meets the 100 percent SB 100
17 renewable or clean or GHG target. So according
18 to the results model, we are at 100 percent in
19 that sensitivity portfolio by 2035.

20 VICE CHAIR GUNDA: So what was the
21 million metric tons for 2035?

22 MR. FERGUSON: 25 MMT.

23 VICE CHAIR GUNDA: Did you have any
24 questions?

25 COMMISSIONER VACCARO: No, I don't have a

1 question, but I had a just a comment.

2 I just wanted to recognize, Jared, the
3 importance of your presentation. Because what it
4 did, I think, is connect some really important
5 dots. It's not always clear how the relationship
6 among the CEC, the PUC and the CAISO works in
7 this space. I think you laid it out very nicely
8 and very clearly.

9 And I think it's really important because
10 it dovetails. I mean, there's really a
11 relationship between what you're talking about
12 and the Land-Use Screens. It could have started
13 with yours and then then the other one behind it.
14 But I think the two together today are really
15 important because they work together so closely.
16 And it really is a pretty significant change that
17 we're looking at with the recommendations that
18 are made in the Land-Use Screens. So the
19 refresh, I think, is the way that I that I look
20 at it. So thank you for connecting those dots so
21 clearly.

22 VICE CHAIR GUNDA: So I have a couple of
23 questions that I'm going to just jump in.

24 Jared, for you, just on the Land-Use
25 Screens usage, you know, you kind of divided them

1 into two key piece, right, the capacity expansion
2 and the busbar mapping. Is the busbar mapping
3 done like post analysis? Is that a way to like
4 circle back or no?

5 MR. FERGUSON: So it is done. So we get
6 a RESOLVE portfolio, which is within the
7 sensitive, it's 49 -- or 40 gigawatts of solar.
8 And then we take that RESOLVE portfolio and then
9 map it to individual substations after the fact.

10 RESOLVE, it's a zonal model, so doesn't
11 have that geographic granularity. It has some.
12 So in RESOLVE, the solar is basically in nine
13 areas, so you have -- and they're fairly large.
14 So you have Northern California solar, which is
15 everything north of, basically, looks Los Banos
16 and that central -- like, basically, you have the
17 San Joaquin Valley, and then Northern California
18 solar is everything north of it. So it's fairly
19 large geographic areas for RESOLVE resources.

20 And the main reason you can't get more
21 geographically smaller is runtime for the model.
22 So the more locational resources you add into
23 RESOLVE, the longer it takes to run RESOLVE. And
24 so that's the main balancing act that we have
25 with the RESOLVE model. And how location-

1 specific we can get in it is how long it takes to
2 produce those model results.

3 VICE CHAIR GUNDA: Last question. So
4 once we do the busbar mapping and stuff, like at
5 what part -- at what step is the local
6 reliability study done?

7 MR. FERGUSON: So that is done -- the ISO
8 conducts LCR studies each year. And it's not
9 quite in sync with the TPP but it's sort of at
10 the same timing as the TPP. So the ISO is
11 conducting those like, basically, right now for
12 the current '20-23 TPP. And the results are
13 released on a similar timing, as well.

14 VICE CHAIR GUNDA: And are they utilized
15 in the IRP at some point?

16 MR. FERGUSON: So we do incorporate them
17 into the mapping efforts, particularly of battery
18 storage in those load constrained areas and those
19 local reliability areas. Basically, the ISO has
20 estimates on how much battery storage can be put
21 into those areas without needing additional
22 transmission or additional generation within
23 those specific area. So that information on
24 those areas is incorporated into the platform
25 mapping process.

1 VICE CHAIR GUNDA: Thanks, Jared. Just
2 one question on the mapping side, specifically
3 that 2.75 number that you mentioned in terms of
4 the impact and using that as a cutoff, could you
5 just speak to how that is decided?

6 MS. HOSSAINZADEH: Sure. So for that
7 threshold for the CEC biodiversity model, we
8 basically wanted to try to minimize the impact.
9 We wanted to minimize the inclusion of the high
10 connectivity and high terrestrial biodiversity
11 ranks, so in the input data layers to those
12 models. So we -- it was a very manual
13 identification process. We just played around
14 with the thresholds and saw what would give us
15 the most area with minimal impact to the minimal
16 inclusion of those high ranking biodiversity and
17 connectivity areas.

18 And the 2.5 was actually -- that included
19 zero land area that had a connectivity rank of
20 four or five. So for the top 40 percent of the
21 land area in California with -- well, actually,
22 sorry, like the four and five connectivity ranks
23 actually have specific meanings in that dataset.
24 So those were considered, though, the highest in
25 terms of like for linkage corridors for habitats

1 and species. So we excluded all of those areas
2 of consideration by using the model threshold of
3 2.5.

4 VICE CHAIR GUNDA: Thank you, Saffia.

5 And just one last question to Erica.
6 Maybe you could take a shot at this one. Just in
7 terms of the changing climate goals and
8 conservation goals of the state, you know, like,
9 you know, as we develop these, these are
10 snapshots in time, how do you recommend that we,
11 you know, develop analysis that, you know, in the
12 next SB 100 report that doesn't get stale too
13 fast? You know, when you mentioned like
14 potential sensitivities are kind of duplicate, if
15 you could comment on that, that would be really
16 helpful.

17 MS. BRAND: Yeah, happy to. It's
18 definitely a challenge that we face in working
19 with data. In the Staff Report, we propose to
20 update the information that forms the Land-Use
21 Screens every two years.

22 I think there would be the opportunity
23 for ad hoc updates if important datasets came
24 out, but our electric system is undergoing rapid
25 transformation. Climate change is driving a lot

1 of change on the ground in terms of land use.
2 And so we're just going to have to do our best to
3 stay on top of all the new information that's
4 coming about how natural resources, agricultural
5 resources, that information is changing over the
6 next decades.

7 VICE CHAIR GUNDA: Thank you. Again,
8 thank you so much, the four of you, wonderful
9 presentations. A lot to think and digest, so
10 look forward to continuing our conversations.

11 And, Jared, particularly, thank you for
12 helping develop the collaboration from the PUC
13 side and working together really well. Thank
14 you.

15 Back to Heather.

16 MS. RAITT: Thanks. Thanks,
17 Commissioner.

18 So we are a little bit ahead of schedule,
19 so we have some questions from the zoom Q&A and I
20 thought maybe we could go over them now, and
21 then -- rather than waiting till after the panel.

22 MR. COLVIN: (Off mic.)

23 MS. RAITT: So, sure. Yeah. Did you
24 want to go ahead and ask a question that you have
25 put in.

1 MR. COLVIN: Good afternoon, everyone.
2 Michael Colvin of Environmental Defense Fund.
3 And thanks for letting me take the mic for a
4 second, Heather. I really appreciate it.

5 First of all, again, just incredible
6 presentation system of this. It's just -- it's
7 complex and you distilled it down to something
8 that I can understand, so very well.

9 I guess I have two -- I have a question
10 and an observation.

11 The observation is the presentations
12 seemed to be focused on the California Land sets
13 that we have, but the Energy Commission also has
14 a pretty big investment happening on offshore
15 wind. And I think it's completely fine. They
16 are totally different sets of questions or
17 requirements.

18 But I just sort of note that we are
19 trying to develop a whole other set, sort of at
20 the same time, and I would love to hear, as part
21 of the next update, of sort of how do we
22 integrate and do the same types of analysis of,
23 well, what is available near transmission, what
24 is available that makes sense for developing that
25 resource with the recently adopted goals that are

1 out there? It's going to be trick just to try
2 and get some parallel treatments. I was reading
3 through this and saying, well, I get to this land
4 use and not offshore wind use, but sort of like
5 liquid land, like how do we do this in such a way
6 that works?

7 The second thing, and I'm really excited
8 to dig into the actual mapping itself, and I'm
9 really excited with how easy user friendly,
10 you've made it, the observation that I think that
11 I would make is that not all land that can be
12 developed on will be developed on and will be
13 suitable. And so just sort of thinking through,
14 for when we get into the IRP process, there's
15 going to be a shrink down from developable land
16 and suitable land, and how do we sort of
17 recognize that not everything is going to be
18 there?

19 We just have to have an assumption to
20 start with of not every single square area is
21 going to be able to be developed on that makes
22 sense. So what's our basic assumption of, you
23 know, a failure rate, for lack of a better word?
24 We do that in contracting all the time for
25 procurement planning. And I think having that

1 type of an assumption figured out and knowing
2 where the sensitivities are, so we want one
3 universal assumption or do we want something that
4 is, in the sensitivity areas, it's a higher
5 failure rate or lower? I think that would be a
6 really important place to just have a little bit
7 more conversation.

8 But, again, thank you all so much for
9 just really great work. I'm very excited.

10 MS. BRAND: I'll be happy to -- should I
11 go ahead and respond to the first question about
12 offshore wind?

13 Yes, ocean use analysis is critical, in
14 addition to land use analysis. And under AB 525,
15 we have colleagues that are working on a sea
16 space identification process pursuant to that.
17 And I could see a future where we are able to
18 have the offshore information and the onshore
19 information that informs our long-term energy
20 planning.

21 I don't know if anyone else in the panel
22 would like to offer any thoughts, or
23 Commissioner?

24 COMMISSIONER VACCARO: Yeah. Thank you
25 for that great question about offshore wind

1 energy development. Erica, you're spot on. The
2 sea space identification work is really going to
3 be an important facet.

4 But another really important aspect of
5 the Assembly Bill 525 work is really looking at
6 the transmission needs, right, and the
7 transmission sort of opportunities and
8 challenges. And I think those two things
9 together, as we do that work, we just had a
10 workshop on the 6th sort of laying out like here
11 are what we see for the upcoming touchpoints for
12 stakeholder engagement to roll out a lot of the
13 work that we've been doing.

14 So I would invite you to stay tuned, join
15 the listserv. We can also kind of keep you in
16 mind as things happen. But I think you'll be
17 seeing how we're trying to approach that, maybe
18 not identically to the way that the Land-Use
19 Screens are being handled, but there is a lot of
20 effort right now as we speak to really wed the
21 space identification and transmission needs, as
22 well as, you know, waterfront facilities and so
23 many other things that are going to be important
24 to moving forward with offshore wind.

25 MR. COLVIN: Great. Thank you.

1 MS. BRAND: Yeah. And to your second
2 question, you know, in a statewide evaluation, we
3 are not going to be able to identify every factor
4 on the ground, and we can't try to. I mean,
5 there's so much that plays into, you know, what
6 happens on the ground in terms of information
7 that's available at different scale.

8 And so that's where we're very much
9 looking forward to public feedback on the factors
10 that we selected for land use constraints and if
11 there are additional ones that we should consider
12 or other considerations that we should play into
13 decision making.

14 MR. COLVIN: Okay. Thank you. Thank you
15 for letting me jump the queue, Heather.

16 MS. RAITT: Great. So this Heather. So
17 I will go ahead and read some of these questions
18 that we received. And whoever wants to jump in,
19 I welcome you to jump in.

20 So the first one is from Richard Rollins,
21 and he wrote,

22 "By excluding high population areas, it would
23 seem as though the model excludes potential
24 associated with rooftop solar, community
25 solar, parking lot solar, and solar on

1 brownfield sites. Why? Do you have an
2 estimate of how much potential has thus
3 excluded from the models?"

4 "And then, also, other potential on the
5 irrigation canals, highway rights of way, et
6 cetera, also appears to be excluded. Why?
7 Do you have an estimate of the potential
8 excluded in these areas?"

9 MS. BRAND: I think I can start with that
10 one.

11 So the Land-Use Screens were originally
12 designed to inform estimates around utility-scale
13 generation, given the larger land use footprint
14 of utility-scale renewable energy generation than
15 smaller installations, like community-scale solar
16 or distributed energy resources.

17 One of the things that we want to do for
18 the land use evaluation in the next report is
19 take a look at things like brownfield or infield
20 solar development opportunities across the state,
21 agrivoltaics. Another comment that we've
22 received is alternative deployment techniques
23 like photovoltaics or solar over canals. So we
24 want to think in our methods development about
25 how we look at some of those different deployment

1 opportunities and how that factors into the land
2 use evaluation and land use conversation.

3 So this work here is meant to apply to
4 utility-scale generation to inform long-term
5 energy planning. We definitely plan to tackle
6 different deployment techniques and technologies
7 in our land use evaluation for SB 100. And we
8 appreciate your comments on what should be within
9 that scope.

10 MS. RAITT: Thank you.

11 Next is from Nancy Rader. And she says,
12 "From the draft report, it looks like you are
13 still using extremely outdated wind resource
14 maps at 80 meters height, using very coarse
15 granularity, even though more granular data
16 at 100 meters is readily available."

17 "Also, the power curves in the NREL wind
18 toolkit are now at least seven years old.
19 Are you still using these? And, if so,
20 you're missing a lot of potentially
21 developable areas using current wind
22 technologies. Why has this data not been
23 updated?"

24 MS. BRAND: So I can start by saying that
25 we sought to use publicly available information

1 wherever feasible, including from the National
2 Renewable Energy Laboratory. I think what our
3 team can do is go back and take a look at some of
4 the assumptions in the NREL data and double check
5 that we're using the most up to date information
6 that is available.

7 Does the team want to add anything else
8 to that?

9 MS. RAITT: And you may have already
10 discussed this, but let's see, again, from Nancy
11 Rader,

12 "Do you consider the very small footprint
13 of wind energy projects in your analysis, for
14 example, compatibility with agriculture and
15 limited and impacts on terrestrial species?
16 And, if so, how?"

17 MS. BRAND: So we do recognize that
18 there's different impacts depending upon the type
19 of utility-scale generation technology. We are
20 at the starting point in this Draft Staff Report
21 of applying all of the modeling outputs to wind
22 and solar technologies. And we appreciate your
23 feedback on that proposed decision.

24 MS. RAITT: Thank you, Erica.

25 So next, "How would private lands" --

1 this is a question from Ventura (phonetic)

2 Camacho.

3 "How would private landowners be able to
4 submit their parcel for collaboration or
5 consideration for solar farming that meets
6 solar farming criteria? We'd like only to
7 have those opportunities."

8 I'm not sure what that -- anyway.

9 MS. BRAND: I think the LLC is Limited
10 Liability Corporation . Good question, and I
11 think one that I would need to think about more
12 in terms of how private landowners could
13 proactively identify their lands for
14 consideration. I'd be happy to follow up on that
15 question or provide my contact information.

16 MS. RAITT: Great. Thanks.

17 MS. BRAND: Does anyone else have any
18 thoughts that they want to add?

19 MS. RAITT: Next is from Claire Broome.

20 "Given the enormous projected solar resource
21 need in 30 MMT and high electrification, will
22 IEPR IRP optimized for distribution grid
23 solar as an alternative to utility sizing
24 transmission with citing using Land-Use
25 Screen?"

1 VICE CHAIR GUNDA: I could take that one.

2 Thank you for that question, Claire. So
3 one of the things we're trying to do for the SB
4 100 process is to rely on the newly open docket
5 and the DER side at CEC. It's an informational
6 proceeding. The idea under that proceeding is to
7 construct a number of DER scenarios that could be
8 used as a demand modifying side for whatever
9 demand scenarios we might come up with for SB
10 100.

11 So we are looking at it both through the
12 lens of just different DER scenarios, but also
13 from the lens of using or including nonenergy
14 benefits, such as resiliency, land use, other
15 elements that could, you know, kind of help
16 develop those demand side scenarios, especially
17 the DERs, so we are working on that. I look
18 forward to connecting with you specifically
19 through the DER process.

20 Thank you.

21 MS. RAITT: Thank you.

22 This is from Shannon Eddy.

23 "The new Land-Use Screens will be used and
24 current IRP modeling update going on now but
25 not for busbar mapping until 2024-2025 TPP?"

1 "And can you repeat which layers will be used
2 for busbar mapping levels two, three, or just
3 level one?"

4 MR. FERGUSON: Thanks, Shannon. And your
5 statement is correct, the new Land-Use Screens
6 would not be implemented until the 2024-2025 TPP,
7 which we'll be doing next year because the '23-24
8 TPP work is already underway.

9 The Land-Use Screens that are
10 specifically in the busbar mapping side of that,
11 I think the easiest way is that is the table that
12 was included in my slides of busbar mapping had
13 about nine different datasets that we incorporate
14 into the busbar mapping Land-Use Screens.

15 For the portfolio development itself in
16 RESOLVE, we are using the DRECP/SJV screen that's
17 been in the IRP inputs and assumptions for a
18 while now. And that, as Erica explained, is --
19 has -- excludes the RETI category one in two
20 land. And then for those two, the DCREP and SJV
21 areas includes only the development areas that
22 were identified in those two processes.

23 VICE CHAIR GUNDA: Just on, Jared,
24 specifically for '24-25, though, I mean, my
25 understanding is recommending level one to be

1 used, the study idea?

2 MS. BRAND: I think for busbar mapping,
3 what I heard in Jared's presentation is that once
4 the land-use screens are finalized, we will work
5 together as staff to put forward a proposal in
6 the next round of documentation --

7 VICE CHAIR GUNDA: Right.

8 MS. BRAND: -- about specifically how
9 that will be used.

10 MR. FERGUSON: And just to provide a
11 little bit more detail to that is I think what
12 will likely be as we'll use a combination of the
13 screens to help prioritize what locations and how
14 much to map there. So I wouldn't say we probably
15 won't even use a single screen, we might use all
16 three, or use parts of all three for various
17 purposes.

18 MS. BRAND: And I believe I heard you say
19 there would be a public comment opportunity
20 associated with those documents?

21 MR. FERGUSON: Yes. We have
22 traditionally and plan to have -- we have a
23 ruling each cycle in which we release the
24 proposed methodology for that cycle and seek
25 stakeholder feedback on that methodology.

1 MS. RAITT: Thanks, Jared.

2 So just a couple of more questions, one
3 from Shannon Eddy.

4 "The solar layers appear to show not
5 insignificant solar resource potential in
6 Northern California forest areas, and also on
7 beaches throughout the state, and on the
8 Channel Islands. We assume that's because
9 staff has yet to scrub the data. Can you
10 talk about the process that will be used to
11 scrub these kinds of areas from being
12 considered as viable for solar?"

13 MR. DAVID: I can speak to that.

14 I think the areas you are seeing are
15 what's called slivers. After we ran the screens,
16 there are certain datasets that don't exactly
17 line up together, one of them being our state of
18 California outline. And after we ran the
19 screens, there are certain areas that show up on
20 the shores, and like in the water of Lake Tahoe
21 and places like that.

22 So yes, we should go through that data
23 and remove this slivers. Trying to get the data
24 product out in time was a constraint, and this is
25 the product, as of now. But it's good feedback

1 and we'll look into removing those artifacts.

2 MS. BRAND: I just wanted to add quickly
3 that one of our goals with this particular Staff
4 Report was to increase the documentation around
5 the information that we're using for
6 transparency.

7 So for all interested participants, if
8 you look at Appendix D in the Staff Report, it
9 lists all of the datasets that we are using. And
10 we would appreciate your feedback on that -
11 there's dozens of datasets, and perhaps we missed
12 something. And so that's exactly the kind of
13 feedback that we're looking for and why we wanted
14 to document everything with such detail so that
15 we could get your feedback.

16 MS. RAITT: Thank you. So this will be
17 our last question before we go into the panel.
18 This is from John Taylor.

19 "How about analyzing drought/climate change
20 constraints on imported water on cropland
21 suitability in addition to analyzing
22 groundwater availability?"

23 MS. BRAND: That is not something I've
24 considered before but I look forward to talking
25 with our colleagues at some of the agricultural

1 agencies about that to learn more and hear their
2 thoughts and perspective.

3 MS. RAITT: Great. Well, thank you for
4 the Q&A.

5 And so, Erica, if you want to go ahead
6 and start the next panel, that'd be great.

7 MS. BRAND: Yeah, so for the panelists,
8 if you could please turn on your videos?

9 We have a remote panel today. I'm really
10 excited to welcome a number of agency partners
11 that we collaborated with over the last eight
12 months to review the datasets and assumptions in
13 developing the Land-Use Screens.

14 So, great, I see folks videos turning on.
15 I'm going to go ahead and make some
16 introductions.

17 So I'm excited to welcome today's expert
18 panel. The Land-Use Screens that we are
19 presenting here today really rely on data from
20 many state and federal agencies. And we were
21 very fortunate to work with a number of
22 colleagues over the past eight months to consider
23 how to use this information in our Land-Use
24 Screens.

25 So in today's expert data panel we are

1 joined by: Ryan Hill, a Research Data Specialist
2 at the California Department of Fish and
3 Wildlife; Patrick Hennessey, a Research data
4 specialist II at the Department of Conservation;
5 Stanley Mubako, Senior Environmental Scientist
6 Supervisor, Department of Water Resources, Land
7 and Water Use Efficiency Program; and Maegan
8 Salinas, Environmental Scientist at the
9 California Department of Food and Agriculture.

10 Today's panel format is a moderated
11 discussion, followed by conversation and
12 questions from the dais.

13 I'm going to start by giving each
14 panelist around three minutes to introduce
15 themselves, describe the mission of their agency,
16 their role, and any opening comments they would
17 like to make to kick off the discussion. So
18 let's dive in.

19 First up, I'm going to call on Ryan.

20 MR. HILL: Thank you, Erica. And thank
21 you to the Commissioners and everybody involved
22 with this project for affording me the
23 opportunity to speak on this very important
24 topic.

25 My name is Ryan Hill. And as Erica

1 mentioned, I work for the California Department
2 of Fish and Wildlife, the CDFW. My official
3 title is Research Data Specialist. It means I
4 spend my days working and analyzing spatial data
5 concerning natural resources. I was going to
6 speak a little more on what that means but I
7 think that Travis did an excellent job of
8 introducing us all to what spatial analysis is
9 all about.

10 So I'm just going to piggyback on his
11 metaphor, and say that I, too, am a maker of
12 lasagna is, in my case, very heavy on notes in
13 biodiversity. My educational background is in
14 landscape ecology and conservation science from
15 the University of California Davis.

16 And I'd like to share with you something
17 that many of you have probably heard in some form
18 or another, which is that California is
19 considered a global biodiversity hotspot. It is
20 home to more species of plants and animals than
21 any other state in the union, including many
22 hundreds of species that are found nowhere else
23 in the world, they're found here in California,
24 and nowhere else.

25 You may also be aware that CDFW has a

1 mission statement. And that statement is, quote,
2 "To manage California's diverse fish,
3 wildlife and plant resources, and the
4 habitats upon which they depend, for their
5 ecological values and for their use and
6 enjoyment by the public," end quotes.

7 So to me, the word management in that
8 statement, it really speaks to the nuts and bolts
9 of what we do day to day. But I'd like to make
10 something else a little more explicit, something
11 that is really integral to our mission, and that
12 is conservation. Conservation is more of an
13 omnipresent ethos, if you will, which informs and
14 shapes our many management strategies.

15 And this is the reason that I personally
16 came to work for the CDFW. It is important to me
17 that that great mosaic of California's
18 biodiversity remains an enduring legacy for
19 generations of Californians to come.
20 California's biodiversity is a national treasure,
21 and it is also one of the world's natural
22 wonders.

23 So those descriptions of biodiversity may
24 appeal to moral or ethical sensibilities, and
25 that's fantastic. But I'd also like to make a

1 very strong point that these kinds of sentiments
2 over many years have led to protections for
3 biodiversity that have been codified through a
4 number of legal instruments, most notably the
5 Federal and State Endangered Species Acts. We
6 have the Natural Community Conservation Planning
7 Act, which actually bakes biodiversity
8 protections into long-term planning processes in
9 California.

10 We also have a host of statewide
11 executive orders, such as the 2018 Biodiversity
12 Initiative, or the more recent Natural and
13 Working Lands Initiative, which seeks to protect
14 30% of California's lands and coastal waters by
15 the year 2030.

16 So as an employee of CDFW, I work for a
17 conservation organization. And one of my primary
18 roles is to develop information and tools which
19 help to further conservation goals while also
20 recognizing that our own collective social,
21 cultural, and economic needs will continue to be
22 expressed into the future, and that these needs
23 will require space on the landscape. So I come
24 to work every day with the firm belief that good
25 information can help to reduce the potential

1 conflicts from these multiple concurrent
2 objectives.

3 Thank you.

4 MS. BRAND: Thank you, Ryan.

5 Next, I'm going to call on Pat.

6 MR. HENNESSY: Hello, everyone. My name
7 is Patrick Hennessy and I'm Research Data
8 Specialist with Department of Conservation in the
9 Division of Land Resource Protection. And I work
10 in the Farmland Mapping and Monitoring Program,
11 also known as FMMP.

12 At Conservation, the mission is to
13 balance today's needs with tomorrow's challenges
14 and foster intelligence, sustainable, and
15 efficient use of California's energy, land, and
16 renewable resources. Our vision is a safe,
17 sustainable environment for all Californians.

18 At Conservation, we have five divisions,
19 division, Division of Land Resource Protection,
20 that I work in, the Division of mine -- excuse
21 me, Mine Reclamation, the California Geological
22 Survey, the Geologic Energy Management, and the
23 State Mining and Geology Board.

24 At Division of Land Resources Protection,
25 we support a number of programs designed to

1 promote orderly growth in coordination with
2 agricultural endeavors.

3 At the Division of Mine Reclamation,
4 pretty much it administers the Surface Mining and
5 Reclamation Act, also known as SMRA. It's a link
6 between producing the mineral products important
7 to California and protecting the environment.

8 At the California Geologic Survey, they
9 pretty much produce the geologic maps, mineral
10 resources mapping, the distribution, and
11 analyzing the state's mineral resources.

12 At Geologic Energy Management Division,
13 they prioritize protecting public health, safety
14 and environment and its oversight, the oil,
15 natural gas, and geothermal industries, while
16 working to help California achieve its climate
17 change and clean energy goals.

18 And the Mining and Geology Board operates
19 within DOC. It's granted certain autonomous
20 responsibilities and obligations under several
21 statutes. This general authority requires all
22 nine Board members to represent the general
23 public's interest.

24 And that's pretty much a summary for
25 conservation. And thank you for having me today.

1 MS. BRAND: Thank you, Pat.

2 Next, I'll call on Stanley.

3 MR. MUBAKO: Okay. Good afternoon,
4 Commissioners and all stakeholders who are
5 attending or tuning in today. My name is Stanley
6 Mubako. I am Senior Environmental Scientist
7 Supervisor with the Land Use Unit of the
8 Department of Water Resources in the Water Use
9 and Efficiency Branch.

10 So I'm coming from the Division of
11 Regional Assistance. And some of you may be
12 wondering here, you know, well, what does land
13 use have to do with water? So I hope to share
14 some of that information briefly today, in
15 addition to the contribution that land use has
16 made is an input to the CEC process that we are
17 gathered for here today.

18 So within my Unit, you know, we have a
19 mission, but first I will give the mission of the
20 Department of Water Resources. It is a big
21 organization that you are all familiar with.

22 DWR's mission is to sustainably manage
23 the water resources of California, in cooperation
24 with other agencies, obviously, and to benefit
25 the state's people, and to protect, restore and

1 enhance natural and human environments. And
2 within DWR, in my Division Regional Assistance,
3 we do have a mission that is for the Land Use
4 Program that I'm heading. Our mission is to
5 survey land more frequently and efficiently using
6 satellite imagery, high elevation digital
7 imagery, local sources of data, as well as the
8 use of GIS and remote sensing, in combination
9 with our field service.

10 That's a brief about my role and where
11 I'm coming from. And I'm glad to be here to
12 contribute to today's discussion.

13 Thank you.

14 MS. BRAND: Thank you, Stanley. And then
15 next we'll hear from Maegan.

16 MS. SALINAS: Hi, everyone. This is
17 Maegan Salinas with the Department of Food and
18 Agriculture. So thank you for inviting me. It's
19 nice to chat with you all.

20 So, briefly, the CDFA's mission is to
21 protect and promote agriculture through
22 environmental stewardship. And through spatially
23 driven science, innovative science, we ensure
24 food quality and safety, and promote equitable
25 opportunities for agricultural marketplaces, and

1 also protect against invasive and exotic pests
2 and diseases.

3 I work closely in that last category. I
4 am an environmental scientist within the Plant
5 Health and Pest Prevention Services Division. In
6 the PDAS Unit, there's so many acronyms, I
7 understand that, but it's Plant Data Analysis
8 Services. And we primarily use GIS on a day-to-
9 day basis to map detections of exotic pests and
10 diseases, which facilitate emergency response
11 actions, such as treatment and establishing
12 quarantine boundaries.

13 And we also provide several spatial and
14 tabular data for the Division and Department, and
15 work interdepartmentally, as well and maintain
16 integrity of that spatial and tabular data.

17 So, again, thank you.

18 MS. BRAND: Thank you, Maegan. And thank
19 you, panelists, for being here with us today.

20 So I'm going to kick things off with a
21 series of questions about the datasets used by
22 CEC staff to construct the draft Land-Use
23 Screens. Our goal here, really, is to help the
24 audience learn more about these data, what are
25 they, how are they collected?

1 So I'm first going to start with a
2 question for Ryan from CDFW.

3 So the CEC staff used some of the
4 datasets from the Department's ACE 3.0 Project.
5 Could you describe what ACE is and what some of
6 the datasets are that we used?

7 MR. HILL: Sure. Before I describe what
8 ACE is, I think it would be instructive to start
9 with why ACE is, what was the purpose of engaging
10 in ACE Project?

11 And, essentially, what we're doing is we
12 recognize that planning decisions and processes
13 are being engaged in every day, whether that's
14 for conservation acquisitions, for development,
15 planning, urban development, and resource
16 development. And we want to interject
17 biodiversity into that conversation to make sure
18 that biodiversity is being represented is being
19 protected.

20 And when we're talking about
21 biodiversity, it's a very complicated topic, and
22 there are a lot of layers to it, a lot of nuance.
23 So what the ACE Project was designed to do was
24 take a lot of that messy data and put it into
25 some more tidy thematic categories. And then

1 within those categories, roll up some of that
2 mess into some more generalized patterns and
3 summaries so that we could make some very clear
4 determinations about what's happening on the
5 landscape that regular people can understand.

6 So for instance, we have the areas of
7 conservation emphasis, terrestrial biodiversity
8 layer. And that layer is based on something
9 called species richness. And that's simply a
10 count of the number of species on the landscape.
11 So taking all of these different data sources, we
12 can say, over here in Area A, there are 100
13 different species that we would expect to find,
14 whereas over here in Area B, we only expect to
15 find 17.

16 So it's very general, it's a very high
17 level summary, but it gives you something very
18 specific and data-driven to tell us something
19 important about what's happening on the
20 landscape.

21 And so we do that species richness in a
22 very -- in a way that accounts for all common
23 terrestrial vertebrate species, but also we do in
24 a way that focuses on special status species,
25 those other species that we, at CDFW, have a

1 special mandate to pay attention to because these
2 are species that are on the Federal or California
3 Endangered Species List, whether they are
4 candidate species or species of special concern
5 for our Department.

6 And then we also take a subset of those
7 species and look at those which occur only in
8 California, and look at how geographically
9 restricted they are, and come up with weights and
10 metrics so that normal people can see on a scale
11 of one through five, this area is a one, it's
12 very low in terms of those criteria that have
13 been evaluated by CDFW, versus the area over here
14 which is a five, the highest category in terms of
15 those criteria.

16 So I've mentioned terrestrial
17 biodiversity. There are two other thematic
18 categories, specifically, one is connectivity,
19 which is very important, and that is basically
20 how these species move across the landscape. And
21 then one on climate refugia, which I don't know
22 how much in detail you want me to go in at this
23 point.

24 But we're basically identifying areas
25 that we expect to remain relatively constant in

1 the face of climate change in terms of changing
2 amounts, temperature and precipitation, and
3 identifying areas that we expect to remain fairly
4 constant and maintain stable habitat or the
5 current portfolio of species that are present
6 there.

7 MS. BRAND: Thank you. I have one more
8 question for you.

9 One of the other datasets that we're
10 proposing to use is the 30x30 Terrestrial
11 Conserved Areas dataset. Can you speak to that
12 one a little bit?

13 MR. HILL: Certainly. So the 30x30
14 Conserved Areas consider various dataset was
15 initiated by the Governor's executive order. And
16 if you're going to shoot for a target of
17 conserving 30 percent of California's land and
18 coastal waters, then you need to understand where
19 you are to begin with. You need a baseline so
20 that you can see how the needle is moving over
21 time.

22 So we spent some time using two primary
23 datasets, which is the California Protected Areas
24 Database, which is managed by Greeninfo Network,
25 they're a nonprofit organization, and they have a

1 really good handle on keeping up to date what has
2 been set aside as open space. Now open space is
3 not necessarily protected for biodiversity. You
4 may have open space that is reserved for
5 agriculture, for offroad vehicle use, or for ball
6 fields, things like that.

7 And then another dataset that we relied
8 on comes from the U.S. Geological Survey, called
9 the Protected Areas Database of U.S., or PADUS.
10 And it is attributed more specifically with a
11 sense of whether an area is set aside or not with
12 biodiversity as one of the focal driving elements
13 for its conservation.

14 So we had to kind of bring those two
15 datasets together. They're focusing on different
16 things, but by overlaying them and doing a little
17 transfer of the attribution, you can kind of get
18 a sense of what areas in California have been set
19 aside specifically for the conservation of
20 biodiversity. And we're still working on
21 updating that dataset a continual basis.

22 MS. BRAND: Great. Thank you.

23 Now we'll switch gears and talk about
24 some of the datasets that informed the cropland
25 model.

1 So I'll start with Patrick. Could you
2 please describe the California important farmland
3 dataset or datasets?

4 MR. HENNESSY: Absolutely. It's going to
5 feel a little bit like a speech because that's
6 just high level glance off the top on the
7 program, but here we go.

8 The goal of the Farmland Mapping
9 Monitoring Program is to provide consistent and
10 impartial data to decisionmakers for use in
11 assessing nearly-present status, reviewing
12 trends, and planning for the future of
13 California's agricultural land resources.

14 California Government Code section 65570
15 mandates FMMP to produce the important farmland
16 maps and the GIS data, which are a hybrid of
17 resource quality and land use. These are
18 produced every two years on even numbered years.
19 The resource quality is defined by the U.S.
20 Department of Agriculture's Natural Resources
21 Conservation Service, their Prime Soils List, and
22 the Soils of Statewide Importance List for each
23 NRCS Agricultural Soil Survey.

24 The land use component is interpreted
25 from aerial imagery, and site visits via public

1 roads, and external comments by FMMP. This means
2 that irrigated farmland in the land use data on a
3 USDA NRCS prime soil qualifies for prime
4 farmland.

5 The important farmland data is also
6 released in statistical formats as the land use
7 conversion tables. These are compiled and
8 summarized within the biannual California
9 Farmland Conversion Report. And first maps and
10 data were produced in 1984 and we covered 30.1
11 million acres. Currently, we're in the middle of
12 the 2020 update, covering 50.6 million acres now,
13 with 51 counties fully or partially surveyed.
14 And the soil surveys specific to national forests
15 or other government land units are not surveyed
16 by FMMP.

17 California important farmland map
18 category definitions, they were originally
19 developed by the USDA NRCS as part of their
20 nationwide Land Inventory and Monitoring system,
21 also known as LIM, and then modified for use in
22 California. Categories on our maps include prime
23 farmland, farmland of statewide importance,
24 unique farmland, farmland of local importance,
25 grazing land, urban and built-up lands, other

1 land, and water.

2 California important farmland data is
3 used to determine agricultural impacts in the
4 CEQA process, and elements of some county and
5 city general plans. It's used in environmental
6 documents as a way of assessing the impacts to
7 prime farmland and in regional studies on
8 agricultural land conservation. That data also
9 has been applied and urbanization and
10 environmental models.

11 MS. BRAND: Alright. Thank you, Pat.

12 Okay, now I'm going to turn to Stanley to
13 give us an overview of the Department of Water
14 Resources statewide crop mapping.

15 MR. MUBAKO: Thank you, Erica, to present
16 an overview of DWR statewide crop mapping
17 dataset. I will break down my answer to some
18 little subsections, starting with the objective
19 of our Crop Mapping Program.

20 The main objective is to produce a
21 special induced database, with accuracies
22 exceeding 95 percent, using several tools, a
23 suite of tools, including remote sensing, GIS,
24 geographic information systems, statistics, and
25 also temporal analysis methods. We map irrigated

1 agriculture and urban areas annually, plus other
2 nonagricultural areas every five years. We like
3 to call that wall-to-wall mapping, or fill-in
4 mapping. So that's the objective of our overall
5 Crop Mapping Program.

6 And before I talk about, you know, who
7 cares about such datasets, I'm going to go
8 through how we do that just in brief. How do we
9 do that mapping?

10 We work with contractors or vendors as
11 much as we can, and our current vendor is a
12 company called Land IQ, who we delegate to do
13 certain specific, you know, tasks through task
14 orders.

15 And going back, you know, a little bit of
16 history historically, the Department of Water
17 Resources, they've been surveying counties once
18 every five years, and filling in temporal data
19 gaps using county agricultural commissioners'
20 datasets. And, you know, those datasets are
21 considered, you know, less reliable because, you
22 know, that procedure is depended on surveying
23 growers, rather than actual measurements on the
24 ground.

25 There were also times, for example, when

1 a given county was surveyed, it's longer time
2 intervals than the planned five years due to
3 resource limitations and other difficulties of,
4 you know, associated with conducting on the
5 ground land use surveys. So we decided to switch
6 to remote sensing methodologies.

7 So DWR, we are now conducting land use
8 classifications annually using remotely sensed
9 satellite data, with maybe a possible lag of one
10 year to process some of the collected data.
11 That's the reason why, for example, you know,
12 currently you can't find statewide 2022, because
13 we are still working on some of those datasets.

14 So for drought applications, also, given
15 the drought that is much California, we also have
16 drought applications of land use data. And it is
17 our intention to also provide to for the -- to
18 provide farmers land information more frequently,
19 given that for a lot of farmers, you know, are
20 leaving agriculture due to lack of water. And we
21 do this classification at fields now using a
22 supervised classification algorithm to classify
23 the fields that are delineated as part of our
24 workflow.

25 And we also are determining frequency

1 here, as well as seasonality of multiple crop
2 fields, using pick cross dates for annual crops.
3 And from model year 2018 and on, we started
4 including multiple cropping.

5 And all these datasets, once they are
6 produced either internally or by the vendor, by
7 the contractor, they undergo some rigorous peer
8 review in collaboration with our regional offices
9 in DWR, who are the people on the ground who
10 understand their situation on the ground.

11 And then finally, before the datasets are
12 published for the consumption of various
13 stakeholders, we -- the datasets undergo a
14 process of accuracy assessment using our
15 Department of Water Resources compilation.

16 I will end by briefly providing an
17 overview of some of the importance of the
18 dataset, you know, the why and who the users are
19 of the datasets.

20 So land use data is critically, you know,
21 important to the work of the Department of Water
22 Resources and other California agencies. As you
23 can see today, we are gathered because of the CEC
24 initiative. Private consulting firms, academia,
25 research communities, those are some of our

1 customers, you know, for the datasets. But
2 internally, the land use information that we
3 produced is mainly used for updating the
4 California Water Plan, which is published every
5 five years.

6 And then, also, the land use survey data
7 is also pivotal for drought-related work plans,
8 you know, including for other state agencies, for
9 example, this initiative by the California Energy
10 Commission. And also understanding the impacts
11 of land use crop protection and encourage
12 management practices in environmental attributes
13 and resource management.

14 It is also a key step in their ability of
15 groundwater sustainable agencies, GSA, to produce
16 groundwater sustainability plans and implement
17 projects to attain sustainability.

18 There are some specific benefits of the
19 more frequent analysis that we are now conducting
20 annually in relation to drought response efforts.
21 This includes, for example, the ability to assess
22 past and monitor current agricultural droughts,
23 and also water rate monitoring and analysis of
24 curtailment due to drought and drought response
25 efforts. And you will find that irrigated

1 agriculture information is also essential for
2 drought water right allocation processes.

3 And land use survey data, it can also be
4 used to estimate the amount of water available
5 for agriculture. And this information is
6 critical in boosting innovation, as well as
7 adaptation on the part of farmers and other
8 decisionmakers in the space of water resources.

9 And then finally, my last two points, we
10 can also use this data for drought monitoring
11 purposes, for example, calculating indices such
12 as the Normalized Difference Vegetation Index, to
13 track crops.

14 And finally, we can also use land use
15 data for direct and indirect estimates of
16 economic impacts across, you know, various
17 regions of California, the state of California,
18 as part of drought planning processes.

19 Thank you very much, Erica. I will
20 return the time to you.

21 MS. BRAND: Thank you very much.
22 Appreciate the helpful overview of some of the
23 datasets that were used in creating these draft
24 Land-Use Screens.

25 And for those that are interested in

1 learning more, in our Staff Report, in the
2 appendix that lists all the datasets, we do link
3 to collaborating agency websites where they have
4 full descriptions of the datasets that are under
5 consideration and provide a lot more information.

6 So next, I'm going to ask a couple of
7 general questions. And so if you'd like to
8 respond, we're a small enough group, just take
9 yourself off mute and please chime in.

10 So the first question I have is: How
11 could the CEC improve our proposed approach to
12 statewide Land-Use Screening for electric system
13 planning? We are in a draft comment period right
14 now, have entered into one. Your input and help
15 shaped where we are today. What additional
16 thoughts might you have for the audience?

17 Yeah, Ryan?

18 MR. HILL: So CDFW does have a few other
19 datasets that could be germane to this process.
20 I think in terms of the time that we have, we got
21 the bulk of the really important stuff in there.
22 But we have additional datasets, called
23 significant habitats, which include rural
24 vegetation communities, and things which are
25 particularly rare on the landscape in terms of

1 their combination of species in terms of the
2 community that exists there.

3 We list quite a bit that as considered,
4 quote unquote, "significant," you know, that
5 includes all oak woodlands and shrublands, but we
6 may want to take a closer look in collaboration
7 with our VegCAMP Unit within CDFW and maybe pick
8 out the rarest of the rare, some exceptionally
9 unique communities, that I would think would also
10 have been screened out in terms of high
11 biodiversity areas or high rarity areas.

12 But again, those datasets that we were
13 using were those very generalized summary
14 datasets, so they incorporate a lot of
15 information and sometimes things -- as you know,
16 when you take a summary, some particular details
17 can get washed out. So it may be useful to
18 identify some of these exceptional areas.

19 MS. BRAND: Thanks, Ryan.

20 Anyone else want to offer thoughts on
21 that question?

22 Okay, hearing none, the next question is:
23 Do you have any new information in development
24 that the CEC could consider in this current
25 update to the Land-Use Screens or future updates

1 down the line?

2 MR. HILL: Stanley, go ahead.

3 MR. MUBAKO: I can --

4 MR. HILL: Go ahead.

5 MR. MUBAKO: Yeah. I can jump in on
6 that, Erica.

7 We, you know, we recently published the
8 statewide 2019 dataset, you know, in terms of
9 latest classification. Depending on your cycle
10 and timeline, we also have the 2020 dataset that
11 is currently undergoing final edits. So our
12 original timeline is to publish that by the first
13 quarter of 2023. But things happen and, you
14 know, the dataset could come in faster given
15 that, you know, DWR is also working on the next
16 Water Plan for 2023 for the State of California.
17 So that dataset for 2020 could be available
18 sooner rather than later. I don't know whether
19 it would be too late for the current effort but
20 it will be new in that sense.

21 And at the same time, we are also working
22 in parallel to process the 2021 dataset. And we
23 are also working on the contract for the water
24 year 2022 classification for the water year 2022.

25 So as I mentioned earlier on, we are not

1 doing these classifications annually due to the
2 adoption of remote sensing technologies. And
3 this will enable us to make these datasets more
4 frequently to key stakeholders, you know, like
5 the CEC, who would like to consume some of the
6 services.

7 Thank you.

8 MS. BRAND: Thank you, Stanley.

9 I think, Ryan, you had gone off mute as
10 well.

11 MR. HILL: Sure. I was just going to say
12 that the datasets that we're using are always a
13 snapshot in time, our best understanding of the
14 landscape. And sometimes the time that it takes
15 to develop that snapshot, sort of the time in the
16 darkroom, so to speak, is such that by the time
17 we have a look at that snapshot, things have
18 already changed on the ground. But, of course,
19 that depends on how quickly the data comes in.

20 So we've been in the developing room, so
21 to speak, with a dataset on connectivity in
22 particular. We have a very large dataset on
23 ungulate migrations that has been in the works
24 for at least over a year. We have regions across
25 the state that have been working on this, so it's

1 a collaboration between a number of folks, and
2 these take time to process.

3 But we are at the point where we have a
4 pretty good provisional look at kind of an
5 almost-final dataset. And we would like to
6 hopefully bring that into an updated picture on
7 connectivity before the finalization of this
8 report.

9 MS. BRAND: Thanks, Ryan. Real basic
10 question: What's an ungulate?

11 MR. HILL: Oh, excuse me. Ungulates,
12 we're looking at deer, elk, pronghorn, large game
13 mammals.

14 MS. BRAND: Okay. Great. Thank you.

15 MR. HILL: Thank you.

16 MS. BRAND: Does anyone else have any
17 thoughts on this question, any new information
18 that's on the horizon that you're aware of you

19 MR. HENNESSY: I do. My comment is
20 really similar to Stanley's, just that the
21 Farmland Mapping Launching Program is constantly
22 releasing data. We're going to have 2020 data
23 out any day, a couple of counties, but we release
24 them as we complete them, so it's a process of
25 constantly releasing data.

1 The most current form of the map and data
2 is what's required in the CEQA analysis. So we
3 have a data service that also is sort of the most
4 current dataset, so it can be a blend of the 18
5 and 20 datasets, so that's always out there, too.
6 It's the most current.

7 MS. BRAND: Thank you.

8 Any other thoughts?

9 Okay, I'll move on to my third question.
10 So we, today, have discussed the current update
11 to the Land-Use Screens for electric system
12 planning, the current proposal around exclusions
13 and biodiversity and cropland data. But in our
14 conversation, other land use factors and other
15 information have come up.

16 So my question is: What other spatial
17 information or factors or data do you think the
18 CEC should consider in the land use evaluation or
19 analysis for future SB 100 planning?

20 MS. SALINAS: Yeah, I can go.

21 So I'm not sure if there is an official
22 dataset that exists somewhere. But if it does,
23 then a state-recognized and unrecognized tribal
24 land layer is something that I think should be
25 considered. I know that there are letters of

1 intent to petition that exist. And that would be
2 a pointsource, potentially. And I know that
3 precontact maps exist, but I don't know if
4 spatial layers of this data exists somewhere
5 publicly.

6 And I understand it's outside of the
7 scope of the current project to generate a layer
8 but, should it exist, it would represent several
9 people's land not included in the existing
10 federal tribal land layer.

11 MS. BRAND: Thank you, Maegan.

12 MR. MUBAKO: Yeah, I can jump in, too,
13 Erica.

14 I want to just circle back to the
15 previous question and mention that, you know, we
16 also have statewide data for 2017 that is under
17 development. And I'm just mentioning that, I
18 don't know, if that's interesting because, you
19 know, it's now in the past.

20 But what was happening with the statewide
21 crop mapping process at DWR, prior to 2018, we
22 were developing these datasets biannually. And
23 then starting 2018, we are now doing these
24 datasets, you know, every year, as I mentioned.

25 But anyway, for, you know, some time

1 series analysis, it was, for historical reasons,
2 you know, to fit into a Water Plan, there was
3 interest to also classify the Year 2017 that we
4 sort of, you know, skipped previously. So that
5 dataset is being developed using a slightly
6 different methodology from the remote sensing
7 approach that we're using.

8 We contracted the U.S. Geological Survey
9 to develop that dataset using the California
10 Pesticides Use Reports. So that dataset is now
11 nearing the peer review process and it will be
12 out there, hopefully sometime in the coming year.
13 So they just wanted to mention that, you know,
14 for stakeholders who might be interested,
15 including CEC.

16 But otherwise, going back to part C,
17 another dataset that may be interesting to
18 consider is the farmland. You know, as we
19 classify agricultural land across the state, we
20 are seeing more and more farmland being left, you
21 know, maybe farmers getting out of -- or leaving
22 out that land because there isn't enough water.

23 So someone, I think earlier today,
24 mentioned, you know, the possibility of some
25 farmers being interested in PV solar on their

1 properties or on their farms. So I think an
2 analysis of that fallow land, you know, from the
3 crop mapping datasets that we produce, may be
4 interesting. I think is quite significant, you
5 know, acreage that we're looking at. And there
6 could be farmers out there who may be interested
7 in switching from agriculture to solar farming.

8 Thanks.

9 MS. BRAND: Thank you.

10 Any other thoughts on spatial information
11 are factors to consider in future SB 100
12 analyses? Thank you for your input so far.

13 Okay, the next question, I mentioned
14 earlier in my presentation that the Energy
15 Commission is creating an online California
16 Energy Planning Library, where we plan to store
17 and display the results of the final statewide
18 Land-Use Screens.

19 From your perspective, what would be the
20 most helpful ways for the CEC to share and
21 display this information? Any advice from your
22 work in geospatial information?

23 MS. SALINAS: Yeah, so I think similarly
24 to what Travis had demonstrated in their
25 presentation on web mapping, a public interactive

1 web map on ArcGIS Online, where the layers can be
2 turned on and off, would be extremely helpful.

3 Also, the option to download the data as
4 both a shapefile and TML, so that GIS users from
5 the most advanced to the very lay could bring in
6 those layers into various software, including
7 Google Earth.

8 Let's see. I think that's all I can
9 think of right now.

10 MS. BRAND: Thank you.

11 MR. MUBAKO: Yeah. Yeah, that maybe you
12 guys can also consider, you know, other forms of
13 web apps, for example, you know, dashboards based
14 on ArcGIS, or probably even other platforms, such
15 as Power BI, depending on the software that you
16 guys have out there. This could be various
17 options, you know, in addition to the web apps
18 that you guys already have in mind.

19 Thanks.

20 MS. BRAND: Thank you.

21 Any last thoughts? Okay. I have one
22 final question before we go to the dais.

23 One of the themes that's been brought up
24 earlier today is just how quickly information
25 changes, both on the energy side and as well as

1 across California's landscapes.

2 What are your thoughts on how to keep
3 data current and share information effectively
4 across agencies?

5 MR. MUBAKO: I will dive in, Erica, if
6 that's not a problem.

7 I just want to highlight two items. You
8 know, the first one, I think I already saw that
9 in action, so we have that going somehow when
10 Saffia was sharing some of the datasets through
11 ArcGIS portal. So I could access, you know,
12 those preliminary layers through the California
13 Department of Water Resources, you know,
14 enterprise account.

15 So that's encouraging, you know, that
16 sort of collaboration, because most of the
17 stakeholder agencies that I know across the
18 state, they use ESRI, you know, ArcGIS software,
19 and they study the price side of things. That is
20 very handy for collaboration and sharing data
21 among different agencies.

22 And also, through the California
23 Geospatial Data Portal, I've seen various
24 agencies there who are sharing the datasets.
25 It's still limited for certain agencies, but I

1 think more can be done. And your initiative, you
2 know, can be integral, you know, to promote more
3 collaboration and data sharing amongst state
4 agencies.

5 Thanks.

6 MS. BRAND: Thank you.

7 MS. SALINAS: Yeah, to add to Stanley's
8 comment about the Geospatial Portal, every month
9 there is a -- at the end of the month there is a
10 community of practice GIS meeting led by our
11 state's GIO Isaac Cabrera. I attend this
12 regularly. We have several presenters each
13 month, just updating the attendees on what -- the
14 updates they've made or what they're anticipating
15 to be finished soon.

16 And then, you know, I think that would be
17 a great place to just start the conversation of
18 these data and the updates made to the data. And
19 if collaboration is needed, then also something
20 that can be shared in those meetings.

21 MS. BRAND: Thank you.

22 Any final comments from anyone else?

23 Okay. Great.

24 Well, we've reached the end of my
25 prepared questions, so I think that we can open

1 it up to the dais to see if you all have any
2 questions for our data experts.

3 VICE CHAIR GUNDA: Yeah. Thank you,
4 Ryan, Patrick, Stanley, and Maegan, thank you for
5 your comments. It was really helpful to kind of
6 set the stage on some of the common themes that
7 we all kind of pursue.

8 So I'm going to start with Dr. Roth here.
9 And then I have a couple of questions, as well,
10 for our discussion.

11 DR. ROTH: So thank you all. Many of you
12 I know and work with on a regular basis, but it's
13 always remarkable to see how these pieces have
14 come together as parts of projects that people
15 have worked on, and the reality of how they're
16 getting used because that's really what matters
17 in the end.

18 There's a number of neat pieces in what
19 you've discussed, that will, I think, be really
20 interesting to follow up over the longer term.
21 And so what I'm going to note is maybe not so
22 much a question as a comment that we've got a lot
23 of opportunities here.

24 I mean, as was brought up previously, at
25 some point, you kind of have to freeze your data

1 to do a particular analysis and come to a
2 conclusion that can be included in a report. But
3 the newer technologies, ArcGIS Online and
4 similar, are starting to make it far more
5 possible to do that freeze, but then to consider
6 having an easier route to ingesting the new data
7 to repeat that cycle on a on a regular basis that
8 maybe eases the burden for the folks that are
9 assembling it new each time.

10 I think the idea that somebody came up
11 with with dashboards is something that is be
12 really useful. I mean, we had a couple of folks
13 asked earlier if there was way to get those
14 numbers for counties. And a dashboard could be a
15 way that that if you choose to go that route to
16 do that and let people self-serve that
17 information for themselves.

18 Some other items, the what should be
19 included in the future, some of these are really
20 legitimate challenges to understand. But I'd be
21 interested in hearing your thoughts on the use of
22 either the data that we currently have or the
23 next generations, that I suspect some of you are
24 working on, for looking at how climate change may
25 impact, fallowing cycles of water because of

1 water use, how we can make sure that we avoid
2 confusing more extended fallowing with a full
3 retirement of that land from agriculture to make
4 sure that we're not just -- we're not mistaking a
5 symptom for a cause.

6 So, for example, California has enormous
7 quantities of some of the best soils for growing
8 crops in the world. And how can we use our data
9 to let us tease out some of those details about
10 whether that land is likely to be permanently
11 retired from agricultural service or whether it's
12 fallowed and waiting for an opportunity to get
13 water onto it to grow that next round of crops?

14 Similarly, how can we better -- do we
15 have opportunities here to better understand how
16 a lot of those landscapes can be used for climate
17 change mitigation through the storage of carbon
18 on those? How does that interplay with potential
19 uses for energy versus other purposes? And what
20 do those mean for things like our resiliency to
21 climate change, so not just can we store the
22 carbon on it but can -- are these landscapes
23 being either helped or hindered in their ability
24 to deal with floods that may come through or heat
25 island and other forms of climatic change that we

1 may want to be paying attention to?

2 It's these types of integrated questions
3 that I want to pose to you. like do we have
4 routes forward for them? And how can we use the
5 type of teamwork that's been developing a process
6 like this to integrate it more effectively
7 without stepping on the toes of all of our
8 various mandates that require that we deliver a
9 product on a certain set of schedules?

10 So, yeah, sorry. Those weren't so much
11 questions as maybe pointers towards
12 opportunities, though there's definitely some
13 embodied questions within them that, if you're
14 able to truly answer those right now, you're
15 doing better than 99 percent of everybody along
16 the way.

17 Thank you.

18 MS. BRAND: Thank you. I don't have any
19 answers.

20 But I would say that I think this is an
21 important step forward in interagency
22 collaboration and thinking about how we use land
23 use and environmental data in energy planning.
24 So I think it creates an opportunity for us to at
25 least start to outline what some of those

1 integrated questions are so we can think about
2 which ones are ripe to address now, which ones
3 need more research before we have the information
4 to address them.

5 So I hope that this Working Group will be
6 the start of those kinds of important
7 conversations that we need to outline moving
8 forward.

9 MR. MUBAKO: Yeah. I would like to jump
10 in.

11 VICE CHAIR GUNDA: Please go ahead,
12 Stanley.

13 MR. MUBAKO: okay. Thank you. I wanted
14 to jump in, as well, following up on that, a
15 remark there, especially touching on the issue
16 of, for example, the fallow land, how can we make
17 sure that, you know, this land that has been
18 retired compared to land that has been fallowed,
19 you know, maybe on a temporary basis?

20 Yeah, I want to revisit, you know, the
21 workflow that I've described for the California
22 Department of Water Resources. I think one of
23 the keys in checking, for example, the fallow
24 land, is doing ground reference data collection,
25 or you know, some like to call it ground

1 truthing.

2 You know, one of my professors in remote
3 sensing used to say, "Well, there's nothing like,
4 you know, ground truthing because, you know,
5 people on the ground can disagree." So he used
6 to say, ground reference data collection. And
7 it's a key process in the workflow that we go
8 through at the Department of Water Resources.

9 By the time we finish any one particular
10 water year to produce the statewide datasets that
11 are consumed by various agencies, we cover well
12 over 18,000 miles across multiple provinces and
13 across the state. And it is an expansive, you
14 know, exercise. And given the overall, you know,
15 latest classification effort for us, just
16 operating with the vendor, the contract is what
17 may be around \$11 million or so over five years.
18 So it is an expensive undertaking, yet there are
19 plenty of organizations who are consuming the
20 land use datasets.

21 So this, to me, represents an
22 opportunity. If we were to take our fallowed
23 land and all that, you know, no matter how
24 advanced our remote sensing techniques can be,
25 they cannot replace the ground truthing, the

1 action on the ground. We need to go in there and
2 verify and validate things. And one of the ways
3 we can be checking on that fallowed land, whether
4 it's permanent or temporary, is to go on the
5 ground and do more ground reference data check.

6 And this can be improved, you know, if
7 organizations, you know, pull resources. There
8 are areas where we are continually doing the
9 ground truth data collection. And in some cases,
10 there are gaps, you know, in our regional offices
11 because of resource, you know, questions. And
12 this can be plugged.

13 You know, if all these organizations that
14 are represented here can come to the table and
15 find ways of, you know, maybe collaborating to
16 put resources on the table, it may be one vendor
17 who is doing the land use classification, but if
18 there are organizations there with an interest
19 are putting money on the table, I think, you
20 know, we can make a lot of progress, you know, in
21 that regard to make sure that, you know, our
22 datasets, you know, the accuracy, et cetera, is
23 more improved for us to be monitoring issues
24 like, you know, the fallow and that Nate is
25 mentioning here. So this is throwing it towards

1 -- you know, on the table for these diverse group
2 of stakeholder organizations.

3 Thank you.

4 VICE CHAIR GUNDA: Thank you.

5 Actually, I'm really glad, Dr. Roth, went
6 before me because he actually laid out a lot of
7 questions.

8 I'm coming into this kind of as I'm a
9 real beginner in the land use side of work. So
10 I'll just start maybe at a 30,000 foot level to
11 just complement some of the questions that Dr.
12 Roth raised.

13 Maybe we start with like just, Ryan, if
14 you can just going to help more from a education
15 standpoint? And as we go to kind of like your
16 planning, especially on the 30x30 work, you know,
17 so I'm looking at, obviously, it's a huge
18 conservation goal. I have kind of a few
19 different questions. You know, please, speak to
20 it however you see fit.

21 But you know like, as far as like
22 beginning with like how do you even define
23 conservation, the 30x30, right, and kind of like
24 looking at that work, and how much is your team
25 currently plugged into the carbon neutrality work

1 of the Scoping Plan? And to the extent that the
2 carbon neutrality requires, you know, protection
3 of our dependence on natural and some of the
4 working lands, you know, just at an economy
5 level, how are you -- how is your team plugged in
6 within the 30x30 context in this broader energy
7 transition?

8 MR. HILL: So when it comes to carbon
9 storage, Nate may be actually in better position
10 to answer that question. He was working together
11 with me and our other collaborators on much of
12 the 30x30 work. And I was pretty much
13 exclusively focused on biodiversity, so carbon is
14 not really my bailiwick.

15 And the other part of your question, if
16 you can refresh my memory?

17 VICE CHAIR GUNDA: I was asking,
18 basically, like how is conservation kind of
19 defined --

20 MR. HILL: How it is defined?

21 VICE CHAIR GUNDA: -- in this context?

22 MR. HILL: How is it defined? Yeah, so
23 lucky for me, I tried to answer that question as
24 best I could, and then was able to dodge it for
25 the most part because other smarter groups of

1 people have been working on that question for
2 quite a while.

3 So in terms of what is conserved, we have
4 fallen back to a definition, which is supplied by
5 the USGS and their gap status system. They have
6 a code system that is one through four. And
7 codes one and two basically indicate areas that
8 are conserved with the protection of biodiversity
9 as one of the focal driving factors for their
10 management strategy.

11 And when that data is submitted, and it
12 comes from various sources, the National Park
13 Service, Fish and Wildlife Service, state
14 organizations, TNC, data comes from many
15 different areas and they all have to be
16 conversant with that gap coding system. And they
17 attribute their own data. So when it comes in,
18 we basically are told how this polygon is being
19 managed. And it is up to us to compile all that
20 together and put it together with better line
21 work from the Protected Areas Database in order
22 to understand how that applies in California.

23 VICE CHAIR GUNDA: Thank you.

24 Did you want to add, Dr. Roth?

25 DR. ROTH: Yeah.

1 So to maybe add a little additional
2 nuance to what Ryan said, the definition for --
3 of what is conserved is always context specific,
4 meaning conserved can, in the case of 30x30, rely
5 on either the gap code definitions or the
6 slightly more narrative version of that
7 definition, which I'll try to paraphrase but not
8 but don't hold my feet too much the fire, which
9 is basically an area that is durably protected
10 for the preservation of the ecosystems and
11 biodiversity that are on them. We interpreted
12 that from a data perspective to be that those gap
13 codes number one and two.

14 There are also a lot of interconnections
15 between both 30x30 and the Natural and Working
16 Lands Climate-Smart Strategy efforts, that one,
17 the Climate-Smart Strategy, I should clarify,
18 being much more focused on the climate change
19 mitigation and resilience as the foremost goals
20 of those.

21 But there's those complex
22 interconnections that we both want to recognize
23 and use to our benefit in that the conservation
24 of lands for 30x30. It likely has significant
25 benefits to the climate change mitigation and

1 resilience of those areas, while the natural and
2 working lands may not formally meet the
3 definition of conserved under 30x30, but they do
4 very likely have some significant additional
5 benefit associated with them through providing
6 that that connectivity space a little more
7 effectively than if it were paved over, through
8 providing intermittent foraging habitats for some
9 sets of species, and food generally mitigating
10 climate change overall.

11 So it's a complex landscape and there's a
12 lot of us working in it. And I can't think of a
13 single one of us that isn't looking for these
14 opportunities, like we're showcasing here, to
15 work together to bring more of those pieces home
16 because all of these are truly all-hands-on-deck
17 kind of efforts.

18 VICE CHAIR GUNDA: Awesome. Thank you.

19 So I have two more questions. Just one,
20 you know, kind of thematic here, just going back
21 to the data experts on the call, you know, both
22 Maegan and kind of Stanley mentioned parts of
23 this, right, which is, you know, the context of
24 the data we are using. And, you know, each one
25 of these are disparate sets of data that, you

1 know, we are using, for example, in this case,
2 energy, right, how do we plan for energy
3 planning?

4 So in terms of adequacy of datasets, I
5 mean, as we are looking at this, the context in
6 which those datasets are being created and the
7 purposes. And, you know, Stanley kind of
8 mentioned the opportunity to have a little bit
9 more resources to kind of look at the accuracy of
10 the data and sufficiency.

11 And also, one of the points that came up
12 is how do we, you know, make sure that much of
13 this data is being aggregated, for example, by
14 the federal government, right, so much of these
15 datasets?

16 You know, the application of those
17 datasets for the California context and our
18 climate policies, how are we currently -- I mean,
19 maybe I shouldn't say how are we, maybe
20 independently to each one of you, as we take
21 these datasets, for example, specific energy and
22 end use case, right, how do we ensure that the
23 context of that and the accuracy of that is
24 retained for energy planning purposes?

25 I hope they came together there clearly.

1 There's a lot of words that I just threw in
2 there. English is my second language.

3 MR. MUBAKO: I will jump in there. If I
4 got to there, Vice Chair, well, at least for the
5 work that we produced, as long as the primary
6 inputs, for example, were into the primary
7 process, we tried to make to sure, ensuring our
8 QA/QC process, quality check/quality assurance
9 processes, that, you know, our data undergoes,
10 you know, a rigorous peer review, and also check
11 the accuracy, you know, through accuracy
12 assessment. We actually demand that, you know,
13 our vendor produces data or business data that is
14 95 percent accurate at the minimum.

15 And then we put it out there for various
16 stakeholders, including CEC. If you check, you
17 know, our metadata, we are clearly stating, you
18 know, quite the accuracy of the dataset is.

19 And then what happens beyond that, once
20 other agencies take the data and then they are
21 doing the dicing and slicing and differential
22 processing, yeah, we are not quite sure, you
23 know, how agencies were consuming the dataset to
24 ensure that, you know, as they combine the
25 datasets with others from other sources, you

1 know, how do they ensure that, you know, the
2 final product, you know, is accurate?

3 But at least on our part, we try to make
4 sure that, you know, there is that QA/QC process.
5 And we actually stated the metadata in full, what
6 the accuracy of the data is, what are the
7 assumptions used, and what the limitations are
8 for the benefit of other stakeholders and
9 consumers.

10 I don't know if that is making sense.
11 Thanks.

12 MR. HENNESSY: I'd like to add a little
13 more, too, with regard to the important farmland
14 data. I always describe it as it's like a living
15 document. We make accuracy improvements all the
16 time. Imagery is getting better all the time.
17 Computing capabilities get better all the time.
18 So we're always improving the accuracy while
19 balancing the mandate of getting the workout. So
20 that doesn't mean you make the perfect dataset
21 every time because there's always room for more
22 improvements and it's always going to get better
23 over time.

24 When it comes to disparate datasets, you
25 know, working with disparate datasets means that

1 you're going to have slivers and mismatched,
2 unless they're all based on the same base
3 dataset. So, you know, anyone who's worked with
4 disparate datasets and combined them knows that
5 they're going to have these little tiny areas in
6 between to deal with.

7 MR. MUBAKO: Yeah.

8 VICE CHAIR GUNDA: I was going to ask
9 what --

10 MR. MUBAKO: Yeah. I wanted to state
11 that, you know, it takes me back to that
12 opportunity that is presenting itself for better
13 collaboration among the different agencies with
14 an interest because I feel we can also improve
15 the quality of our datasets that are shared among
16 organizations. If, you know, there are more
17 resources on the table to improve the products
18 that we are producing in the first place, for
19 example, the use of imagery, you know, the
20 statewide datasets that you consume from the
21 Department of Water Resources, we produce them
22 using the free imagery resources in Landsat. We
23 all know the spatial resolution 30 meters,
24 essentially, now a little bit better, ten meters.
25 And then other imagery that is high resolution,

1 like the Hexagon or Planet Max, companies like
2 that, those value-added vendors who are selling
3 high resolution imagery data, and that is an
4 expensive undertaking.

5 But we still need that dataset, even to
6 do our QA/QC for qualitative assessment, et
7 cetera. And if organizations are coming
8 together, that can make it easier for us to
9 acquire high resolution imagery, which will
10 ultimately benefit all of us through improved
11 products.

12 Thanks.

13 VICE CHAIR GUNDA: Yeah, I really
14 appreciate your guys' conversation there,
15 Stanley, about getting the opportunity for us to
16 collaborate ahead and see if resources could be
17 shared collectively to help inform. I think
18 that'll be great. And I defer to Erica to have
19 the conversation.

20 So last question, maybe this is, Erica,
21 to you, related to, and you can close it up. On
22 the climate change issue that Dr. Roth just
23 brought up, one of the things we recently heard
24 is the changing wind patterns, for example and
25 you know, what that would do in terms of overall

1 wind generation and existing sites or, you know,
2 future changes.

3 So just wanted to kind of think it
4 through on how are we -- and maybe this is not a
5 question, but just a comment. And I'm just kind
6 of thinking through how to accommodate those
7 changes in climate, especially on the generation
8 side? And how do we then incorporate that into
9 the need for more or less, you know, of land?
10 You know, so I just wanted to flag that. Any
11 response would be great. If not, we can continue
12 to discuss.

13 MS. BRAND: I can start. And maybe the
14 GIS team might want to add.

15 I mean, I think that continually looking
16 at what kind of energy resource potential
17 information we use at the start. So whether it's
18 wind speed data or capacity factor information,
19 along the lines of one of the questions we got
20 earlier, just always checking and making sure
21 that we're using the most up to date information
22 to reflect new analysis, but also changing
23 conditions.

24 What do you think? Anything to add? No?
25 Okay.

1 VICE CHAIR GUNDA: Commissioner?

2 COMMISSIONER VACCARO: So I just want to
3 pull the thread a little bit, Erica, of something
4 you just said. I think it really is good that
5 you hearkened back to the comment that we
6 received earlier, I believe it was from Nancy
7 Rader, just sort of flagging like, hey, what is
8 the currency of the data that you're using?
9 Because those of us that are out here in the
10 world of doing this think there's some more
11 current data that you ought to be looking at.

12 And I think that, really, that goes to
13 the value of what you all have done in this
14 report, which is you showed your work. And it's
15 why we do these workshops and have this
16 engagement, it's to let everybody know, here's
17 what we've done, here's what we've used, here is
18 how this was peer reviewed, and we know there's
19 still more that we could possibly do. And we
20 always invite and welcome the input.

21 And I think the way that you framed it is
22 just a perfect way, a reflection, I think, of
23 what we try to do here, right, at the Energy
24 Commission. But I know as you develop the
25 report, and we talked about like how are you

1 showing your work, why are you going through the
2 steps, how are people understanding what these
3 steps mean, I think this conversation that we're
4 closing with is really important.

5 And it also underscores, I just want to
6 mention, Dr. Roth, you said something that was
7 really important. I think your words were, you
8 know, this is a all hands on deck; right? And it
9 really is. This is truly a whole-of-government
10 approach to this work. And I think we're all
11 embracing it and seeing the value of it.

12 So I really appreciated this conversation
13 about data sharing, quality, the peer review
14 process that you went through here, as well, in
15 developing the report. So it's really nice to
16 close out with this panel discussion and all the
17 important points and things that were raised.

18 MS. BRAND: Thank you, Heather.

19 So, Heather, do we have any other public
20 questions? I know we have time in the agenda
21 right now to answer.

22 MS. RAITT: Sure. There's one question.
23 in the Zoom Q&A from Kathleen Ave from SMUD. She
24 wrote,

25 "Have any of the agencies considered efforts

1 to integrate habitat restoration on
2 permit" -- excuse me, "beyond the current
3 permit compliance with large-scale
4 renewables? For example, every collaboration
5 with" -- I don't know how to pronounced
6 that -- "third-party review."
7 "SMUD has a multiyear
8 research project at Rancho Seco underway.
9 Did staff consider possible pathways, new
10 guidance, for this kind of integration that
11 can improve the ecological value of future
12 renewable projects."

13 MS. BRAND: We haven't yet. But I know,
14 just from reading literature and hearing from
15 other project examples, that there's a number of,
16 I would call them, multi-benefit investments
17 happening in energy projects, everything from
18 pollinator habitat to wildlife-friendly fencing.

19 I mean, I think we would be interested in
20 hearing of some of these real-world examples to
21 inform how we think about how we evaluate land
22 use for energy planning moving forward in future
23 SB 100 analyses. So if you have more examples to
24 share, or other interested participants do, we
25 would really appreciate hearing about those.

1 MS. RAITT: Great.

2 Does anybody in the room have a question?

3 Okay, why don't we just wait one moment for
4 public comment period.

5 Commissioners, if you don't have any more
6 questions? Great. Okay. Well --

7 VICE CHAIR GUNDA: Yeah. I have three.
8 No, I'm just kidding. I do, but I will but I
9 will. We will continue.

10 But I think the last comment just kind of
11 talked to that co-benefits issue and going back,
12 so it's great.

13 MS. RAITT: Alright. Well, thank you,
14 Erica. And thank you to all of you for being
15 here and presenting today.

16 And for the folks on the Zoom who asked
17 such good questions, appreciate that, and folks
18 here asking good questions.

19 So with that, I think we're ready to move
20 on to public comments. And we will go ahead and
21 start with folks in the room. And since there's
22 so few of us, we don't have to worry too much
23 about blue cards. But if you'd like to come up
24 to the to the podium here and -- the lectern,
25 excuse me, and please identify yourself and spell

1 your name for the record, and let us know if
2 you're having affiliation. And we'll get the
3 timer going to get started.

4 Go ahead. Thanks.

5 MS. SOLECKI: Hi. Good afternoon. Mary
6 Solecki. The last name is spelled S, as in Sam,
7 -O-L-E-C-K-I. I'm with AJW. And we represent
8 Clean Air Task Force. I'm here on their behalf.

9 And this is a really fun workshop for
10 those of us that care about land use planning, so
11 thank you, well done. Loved all the different
12 pieces that you pulled together for this, so
13 thank you.

14 Clean Air Task Force is definitely in
15 alignment with you on the need for why this sort
16 of thought is needed on land use planning. What
17 they have been seeing and trying to focus some
18 attention on and having conversations with many
19 of you in the room here about, is the fact that
20 the great modelling work that happens in SB 100
21 and a Scoping Plan process, that does not equal
22 deployment. And even this, this is an excellent
23 next step, but it's still just an important
24 underpinning.

25 You know this is helpful information to

1 understand where the land is but it still doesn't
2 necessarily get us over some of those other
3 challenges that the state is going to need to
4 address which is sufficient transmission lines to
5 some of these different locations, providing
6 sufficient local incentives to get those local
7 communities to actually welcome projects into
8 their neighborhoods.

9 And so that that's sort of where we still
10 want to see this going from here. And so not to
11 take away from anything that's been done because
12 this is a fantastic next step. So we're sort of
13 in a yes-and place. Let's keep going with this.
14 So thank you for the fantastic work on this.

15 Tomorrow, Clean Air Task Force and
16 Environmental Defense Fund, with Mr. Michael
17 Colvin, are going to be releasing a report called
18 Growing the Grid. And it's going to be talking
19 about the need to do exactly this kind of work to
20 get sufficient clean energy deployment around the
21 state. I will submit it into the public comment
22 so that it's part of the public record. But we
23 will be happy to share that report and speak in
24 more detail about that report and some of the
25 next steps that we have identified with anybody

1 that would be interested.

2 So thank you very much for your time.

3 Appreciate today's conversation.

4 MS. RAITT: Thanks Mary. Thank you for
5 that.

6 So we'll move on to folks on Zoom. We
7 have a number of people making comments, so we'll
8 limit it to three minutes per person and one
9 person per organization, starting with Claire
10 Broome. And for others, I'll open your line, but
11 just one moment to say that if you did want to
12 make a comment, you just use that raise-hand
13 function to let us know.

14 So Claire Broome, if you'd like to go
15 ahead?

16 MS. BROOME: Okay. Can you hear me?

17 MS. RAITT: Yes. Thanks.

18 MS. BROOME: Okay. So I'm Claire Broome,
19 B-R-O-O-O-ME, and I am speaking as representative
20 of 350 Bay Area, an environmental and ratepayer
21 advocacy organization. And I'm a Professor of
22 Public Health.

23 So I'd like to start by commending the
24 CEC and the CPUC staff for an outstanding job of
25 refining modeling and trying to (indiscernible)

1 land use. This is a critical exercise as part of
2 meeting California's aggressive solar objectives.

3 Over the past five years, over half of
4 California's solar megawatts were on the
5 distribution grid. So I appreciate Vice Chair
6 Gunda mentioning the DER proceedings. But I also
7 think this is far more than demand modification.

8 Distribution grid resources are a
9 critical part of meeting our older goals.
10 Also, they will save ratepayers money because
11 there's less need for transmission. They also
12 are likely to help us with conserving valuable
13 biodiversity of land areas and minimizing
14 conflict over land use.

15 Currently, the RESOLVE model does not
16 differentiate between solar on the transmission
17 versus distribution grid. I strongly urge the
18 Energy Commission and the PUC to use -- to be
19 able to optimize both distribution grid and
20 transmission grid solar in their modeling for the
21 IEPR and the IRP.

22 Thank you very much.

23 MS. RAITT: Thank you.

24 Next is Shannon Eddy. If you could go
25 ahead and state your name and affiliation, if

1 any, and spell your name, please?

2 MS. EDDY: Great. Thanks Heather.

3 My name is Shannon Eddy, S-H-A-N-N-O-N
4 E-D-D-Y. Okay. Did we get it?

5 MS. RAITT: Yeah. Sorry about that.

6 MS. EDDY: That's okay. No problem.

7 Hi everybody. My name is Shannon Eddy,
8 S-H-A-N-N-O-N E-D-D-Y. I am the Executive
9 Director of the Large Scale Solar Association.
10 And thank you, everyone, for the presentation
11 today.

12 You're going to have a little bit of a
13 rant from the solar industry as we're digesting
14 this. And there's a lot to take in. And some of
15 what we're seeing is raising some fairly
16 significant red flags. So I want to give you
17 some examples of what has caught our attention,
18 and then talk a little bit about recommendations
19 for going forward.

20 So a few examples of where there are some
21 real gaps in this, the DRECP DFAs are being
22 represented as wholly developable -- excuse me,
23 wholly developable when, in fact, we now know
24 that they are not due to multiple DRECP citing
25 restrictions. Half of the Eastern Riverside DFA

1 is not open to development due to the presence
2 1000s of microphyll woodlands. More than 75
3 percent of the Imperial DFA is off limits to
4 solar due to a CEC's utility corridors and
5 geothermal carve outs.

6 In addition, the footprint looks like the
7 footprint of operating in-construction solar
8 projects in the DRECP are shown as being
9 available for development.

10 Beyond the DRECP, and I noted some of
11 this in the written Q&A, there are large areas of
12 solar identified in northern California
13 forestlands, which is obviously not viable. The
14 draft screens propose major reductions in usable
15 farmland areas, in spite of the fact that half a
16 million acres of farmland are expected to be
17 fallowed due to groundwater restrictions. The
18 ten degree slope exclusion for solar is something
19 industry has advocated for years to eliminate as
20 an unnecessary restriction and yet it was used as
21 an input for the baseline screen. The screens
22 don't provide analysis regarding parcelization how
23 it influences which areas are developable and
24 which are not.

25 So these are important details that need

1 to be factored pretty early on in these kinds of
2 mapping processes, especially given the
3 regulatory reach and operational use that's
4 expected for these screens. We have to remember
5 that this effort is specifically designed for
6 electricity system planning, and also fairly
7 granular mapping in the case of busbar mapping,
8 and yet the process seems to be pretty divorced
9 from the kind of electricity planning
10 considerations that do affect real world
11 development.

12 So I'm sorry to be the skunk at the party
13 here. And I do wish I had more positive feedback
14 for you. And I understand this is not an easy
15 exercise given the multiple land use and
16 conservation pressures that that we're all facing
17 in this state. However, I also understand that
18 the state is formally proposing to add 86
19 gigawatts in 12 years to a 50 gigawatt grid, and
20 that solar is going to be expected to contribute
21 almost half of those gigawatts.

22 So we urge you to do better in
23 coordinating and consulting with the industry to
24 provide for more fulsome sets of screens that can
25 really help the state meet its targets. To that

1 end, we do urge you to make the shapefiles
2 available to us immediately so we can review the
3 layers ourselves, assess viability, and provide
4 informed comments in the next three weeks.

5 Thanks again for your time. Appreciate
6 it.

7 MS. RAITT: Thank you.

8 So next is Joan Taylor. Please go ahead
9 and state your name and affiliation, if any.

10 MS. TAYLOR: Yes. Thanks. Joan Taylor.
11 No affiliation today, although I was an appointed
12 conservation stakeholder for the entire DRECP.

13 Can you hear me?

14 We applaud the CEC effort here. And glad
15 the PUC is also representative because it's
16 critical that all state agencies coordinate to
17 meet both the 30x30 and the state's
18 decarbonization goals.

19 Recognize that, whereas the best wind and
20 geothermal resources are geographically
21 constrained, solar could be used everywhere.
22 This is a disruptive technology. Like cell
23 phones, solar PV does not have to be tethered to
24 wires.

25 While not totally on point on your

1 datasets, I think it's critical today to
2 emphasize looking at the least costs
3 holistically, not narrowly. The Joint Agency SB
4 100 Report for 2045 forecasts roughly 70
5 gigawatts of industrial solar, on top of
6 distributed. That's nearly half a million acres.
7 It's astounding. It's more than the roughly 300
8 million to 400 million acres needed to meet the
9 state's 30x30 goals. It is potentially enormous
10 type conversion and resource destruction,
11 unnecessarily, and lack of natural and working
12 lands which are only proven method to sequester
13 carbon.

14 So I want to draw a couple of --
15 attention to a couple of issues.

16 The Senate Bill 350 called for doubling
17 additional energy efficiency from 2015 to 2030.
18 But we don't see CEC implementing or reporting
19 its progress. Controlling demand directly and
20 profoundly effects the new renewable energy that
21 will be needed to serve building and
22 transportation electrification, and to avoid
23 constantly moving goalposts.

24 Another -- the key state agency partner,
25 namely California PUC, needs to start also moving

1 in the same direction as CNRA and CEC in
2 planning. The PUC's NEM proceeding is now moving
3 in the opposite direction. PUC models
4 undervalued distributed generation and they need
5 to recognize its health, energy reliability,
6 avoided transmission costs and charges, and
7 preservation of natural and working lands.

8 The PUC's proposed NEM would kill
9 customer-side solar. So both energy agencies
10 should be incentivizing distributed energy
11 resources, including storage, to harness this
12 huge potential of DER to provide energy security
13 and protect other societal values.

14 So let's ensure we can look back ten
15 years from now and be proud that we control
16 demand, utilize the full potential for DER, and
17 decarbonized while preserving the state's
18 critical natural heritage and carbon sinks.

19 Thanks very much.

20 MS. RAITT: Thank you.

21 Before I move to the next person, just a
22 reminder, if you want to make comments and you're
23 on Zoom, you can press the raise-hand function.
24 And if you're on the phone and you want to make
25 comments, press star nine.

1 So next is Kate Kelly. Please go ahead
2 and state and spell your name for the record and
3 name and your -- provide your affiliation. Kate,
4 I might have -- did we lose you, Kate? Okay,
5 well, we can go back.

6 So Neil Nadler, go ahead and unmute your
7 line.

8 MR. NADLER: Yes. Yes. Yes. This is
9 Neil. Can you hear me?

10 MS. RAITT: Yes. Go ahead.

11 MR. NADLER: Hi. Good afternoon. You
12 know, really a good job that you people have done
13 today. I actually had to leave in the middle, I
14 had a engagement, but I came back. And I do want
15 to say a couple of things.

16 Number one, I was a stakeholder in the
17 San Bernardino County Renewable Energy Element
18 and General Plan, and also the 2040 Update to the
19 General Plan. And I was very actively involved
20 in the DRECP, as well as I'm a member of a number
21 of NGOs. A couple of things that I want to
22 address.

23 First, the ACE 3, which is the CDFW, is
24 a -- it's not accurate. It's not absolutely
25 accurate. And there are a number of habitat -- I

1 mean, wildlife corridors that were and are and
2 have been studied for the last 20-plus years
3 that, because of politics, they never got into
4 the ACE 3 program, and it had to do with the
5 DRECP as well, and that needs to be addressed and
6 to be dealt with.

7 I believe that the data sharing is very,
8 very important. And this information should be
9 available in Data Basin, not just in the GIS
10 format.

11 Equity conflicts, I think that you're
12 going to experience, in San Bernardino County
13 especially, that -- where they, the CAISO and
14 CPUC and California Energy Commission, have been
15 trying to develop in Lucerne Valley for a long,
16 long, long time, that you're going to have
17 problems with environmental justice there.

18 There are, you know, obviously, some
19 important documents I haven't seen. Erica
20 mentioned the West Mojave solar increasing. I
21 would really like to see what she's talking about
22 there.

23 And lastly, and most importantly, I agree
24 with Joan Taylor and the people from Bay Area 350
25 that distributed generation needs to be counted.

1 You know, I produce 90 percent of my own energy
2 that I consume, and it will be 100 percent in a
3 matter of months. So I fully agree that the DER
4 does need to be included in this discussion.

5 Thank you.

6 MS. RAITT: Thank you.

7 Let's try Kelly. Kate Kelly, again,
8 please go ahead. You can unmute your line on
9 your end, Kate.

10 MS. KELLY: There we go. Thank you so
11 much. Good afternoon. This is Kate Kelly and
12 I'm here on behalf of Defenders of Wildlife. We
13 appreciate today's workshop and the intensive
14 efforts of staff to update the Land-Use Screens.

15 Energy Planning is land use planning.
16 And comprehensive, proactive land use screening
17 is an essential performed energy planning that
18 meets our energy needs while protecting natural
19 cultural resources. Clearly, I'm not saying
20 anything new here and probably preaching to the
21 choir, given the great workshop today.

22 And we appreciate seeing the
23 collaboration and shared data between the energy
24 and resource agencies and look forward to seeing
25 these screens and their ongoing updates

1 incorporated into the IEPR.

2 The panel discussion was particularly
3 valuable on the value of public-facing mapping
4 tools. Web-based mapping tools are fundamental
5 for stakeholder participation, as has been played
6 out by others today, in supporting fully informed
7 collaboration and decision making.

8 A quick glance at some of them, we see a
9 couple of requirements that are needed for
10 protected lands and biodiversity datasets. For
11 example, the Mono Basin seems to be triggering a
12 high value for geothermal, solar and wind,
13 although that area is both in -- by state sage
14 grouse habitat and has various layers of state
15 and federal protections. So there's an area to
16 continue to look at more.

17 We'll be diving into the tool and ask
18 that the underlying datasets be released as part
19 of the mapping tool prior to finalizing the
20 report to allow parties to provide informed
21 comments, really be able to dig in and understand
22 how it's put together.

23 Thank you again for the workshop today.
24 And I appreciate all the work that the staff and
25 commissioners have put into this.

1 MS. RAITT: Thank you.

2 So next is Nancy Rader.

3 MR. RADER: Hi. Good afternoon. Nancy
4 Rader, N-A-N-C-Y R-A-D-E-R. I'm Executive
5 Director of the California Wind Energy
6 Association.

7 I appreciate Commissioner Vaccaro
8 flagging my chat comment above the need to use
9 the best available wind resource data. We
10 actually raised this issue in our comments.

11 MS. RAITT: Oh, I'm sorry, Nancy. Go
12 ahead.

13 MR. RADER: Okay. I'm not sure where we
14 left off.

15 But we raised this issue of the wind
16 resource data over a year ago in our written
17 comments. And we met with staff to discuss it in
18 detail back in June. So I was really surprised
19 and disappointed to see that the draft Analysis
20 continues to use wind resource maps based on
21 really dated wind resource data at 80 meters
22 above ground when, today, when turbines are
23 routinely installed at 100 meters or higher. A
24 100-meter map, and other updated inputs that are
25 also needed, would show more land area with wind

1 speeds that are sufficient to support commercial
2 projects.

3 So continuing with staff's lasagna
4 analogy, the analysis we saw today really left
5 some key ingredients at the store. Better data
6 is publicly available at just a modest cost. And
7 so we strongly recommended that the Commission
8 obtain it for this important public purpose.
9 Otherwise, this analysis we'll be using a base
10 map for wind that completely misses many good
11 resource areas.

12 Thank you. Okay, thank you.

13 MS. RAITT: Okay. Thank you.

14 Next is Ellen Wolfe.

15 MS. WOLFE: I think you can hear me okay.

16 MS. RAITT: Oh, excuse me. Go ahead.

17 Yes.

18 MS. WOLFE: Yeah. My name is Ellen
19 Wolfe. It's W-O-L-F-E. I work for Resero
20 Consulting.

21 I have a number of clients that
22 participate in IRP and in the SB 100 forums and
23 are very interested in in these processes and the
24 work that the CEC is doing.

25 Primarily, the clients are bringing

1 solutions for California's reliability and carbon
2 needs in the form of renewable generation
3 development and/or transmission to interconnect
4 those resources. And interestingly, a lot of the
5 development activity is taking place right at the
6 border of California, or in some cases on the
7 other side of the border of California.

8 The work that the CEC has done is
9 fantastic, it's really amazing, and it was a
10 pleasure to participate today. You may recall
11 one of Jared's slides where he showed the
12 transmission capabilities of different areas in
13 the RESOLVE model. And in that slide, you can
14 see that there are some bits in the RESOLVE model
15 of the CAISO that sit outside California. And
16 these are areas where the generation
17 interconnection queues are quite large because
18 it's both easy and inexpensive to develop. And
19 these resources are directly connected to the
20 CAISO load.

21 The problem is, however, a bit of the
22 conundrum where the CEC focuses on the California
23 footprint. The Land-Use Screens that are used
24 for those bits outside of California rely on WECC
25 very general Land-Use Screens.

1 And carrying on with the lasagna analogy,
2 those screens, the quality of them, is more like
3 a plate of spaghetti with marinara sauce or a can
4 of Spaghettios. It doesn't come close to the
5 quality of the information that's in the
6 screening that the CEC is developing. And what
7 my clients are finding is that it's overly
8 conservative, or it finds these resources to be
9 much riskier than they actually are because of
10 the very broad resolution or gross resolution.

11 So we urge you to find some solution to
12 this, whether it's having stakeholders bring to
13 the CEC these other data sources that can help
14 refine the Land-Use Screens for these areas, or
15 what -- somehow between the agencies, we need to
16 find some solution. The CPUC staff, including
17 Jared and his team, have done a decent job, I
18 think, of looking at these areas.

19 But in the very important planning
20 scenarios, like the SB 100 scenarios and the
21 CAISO's 20 years scenario, the CEC hasn't been
22 able to apply improved Land-Use Screens for these
23 areas. So I encourage you to work with
24 stakeholders and find a way to improve the
25 quality of the data for those areas.

1 Thank you.

2 MS. RAITT: Thank you.

3 So if anyone else would like to make
4 comments, please use that raise-hand function if
5 you're on the Zoom platform. And if you're on
6 the phone, you can press star nine. And we'll
7 give it another moment to see if anyone else
8 wants to make comments. Alright, I see none.

9 Can we go to the next slide? I think
10 we're done with public comments.

11 So before we close that, if you don't
12 mind, I could just plug a couple upcoming
13 workshops. We have one coming December 2nd, our
14 forecasts. And then December 7th -- excuse me,
15 December 2nd on western electricity system
16 integration, and the 7th on our forecast. And we
17 plan to put out the Draft IEPR later this month,
18 and eventually adopt it, after we have a couple
19 opportunities for public comment, in February at
20 the business meeting on February 15th.

21 And with that, we are done with public
22 comment.

23 And, Commissioners, if you have any final
24 comments you'd like to make?

25 COMMISSIONER VACCARO: Thanks Heather.

1 So, first of all, again, I think I'll
2 close where I started, which is thanking you,
3 Vice Chair Gunda, for your leadership in this
4 space. This has been a really valuable workshop.

5 Again, just want to commend the CEC staff
6 for a very impressive report. And I think, more
7 importantly, that you invite and welcome the
8 feedback. And I think we heard quite a bit just
9 now in the public comment period.

10 I'm not going to call out by name, but
11 someone said they don't mean to be the skunk at
12 the at the picnic. And, in fact, you know, we
13 need the skunk at the picnic. And we don't
14 consider anybody to be a skunk. This is what
15 allows us to do better work. And it ensures that
16 we don't have blind spots. So I think we've
17 heard a lot of good feedback today.

18 And I really appreciated the panelists
19 participation. And that panel discussion, I
20 think it was really illuminating.

21 And, Jared, again, thank you so much for
22 really connecting those dots between -- I guess
23 among the PUC, CEC and ISO processes, and giving
24 us some really good timelines to be looking at.

25 So just think thank you all for the

1 participation today.

2 VICE CHAIR GUNDA: Yes. And thank you,
3 Commissioner Vaccaro.

4 Just in closing, I wanted to thank
5 Heather and her team, as usual, and thanks for
6 like another excellent workshop.

7 I also want to call out Erica. Thank you
8 for your work in pulling this work together. I
9 remember talking to you, kind of like maybe a
10 year ago, on kind of the need for this work. And
11 I'm just both surprised and thrilled how quickly
12 this came together in terms of framing and the
13 collaborations necessary, and totally recognize,
14 you know, the comments that were made to further
15 improve and ensure that viewpoints are brought
16 in.

17 And, again, I want to second Commissioner
18 Vaccaro's point. You know, the public process is
19 the heart of CEC's work. And, you know, without
20 the valuable input, you know, we cannot have the
21 embedded wisdom to do the work we do. So, thank
22 you for all the wonderful comments, the
23 panelists, and as well as our team and CPUC team
24 here, thank you for your excellent work. And,
25 Dr. Roth, taking the time to be a part of the

1 workshop today.

2 Looking forward to getting comments and
3 continuing this work. You know, it's extremely
4 important, the land use work, for, you know, many
5 years to come. You know, the climate -- for the
6 climate change, the conservation, you know, the
7 equity implications, but all the nonenergy
8 benefits, I think there's a lot of work on the
9 shoulders of Erica and her team. Travis and
10 Saffia, thank you for your work as well. I look
11 forward to continuing to collaborate and working
12 together.

13 Thanks. And we are adjourned. Thank
14 you.

15 (Off the record at 4:41 p.m.)

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 5th day of December, 2022.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

December 5, 2022