

Staff Present:

Leslie Baroody
Peter Ward
Tim Olson
Tobias Muench
Charles Smith
Pilar Magana

Also Present

Presenters

Gerhard Ahtelik, California Air Resources Board (CARB)
John Mough, California Department of Food and Agriculture
Division of Measurement Standards (CDFA DMS)
Bill Elrick, California Fuel Cell Partnership

Panelists

Alex Keros, General Motors
Robert Bienenfeld, Honda
Justin Ward, Toyota
Todd Suckow, Hyundai/Kia
Rosario Barretta, Daimler
Dr. Arnold Miller, Vehicle Projects
Paul Scott, ISE
Lawrence Weisdorn, Vision Industries Corp.
John Maddox, BAE Systems
Tom Apalenek, BAE Systems
David Pfeil, Plug Power
Jaimie Levin, AC Transit
Dr. Tim Brown, UC Irvine
Rob Elam, Propel
Michael Beckman, Linde
Ed Heydom, Airproducts
Kevin Harris, Hydrogenics

Public

Robert Boyd, Linde North America
Michael Ramage, Asemblon (206) 200-7801
Larry Watkins*

(Via WebEx)

I N D E X

	Page
Introduction and Agenda Review	
Leslie Baroody, CEC	5
Peter Ward, CEC	8
Policy and Regulatory Presentations	
Gerhard Achtelik (California Air Resources Board)	16
- Zero Emission Vehicle Mandate	
- SB 1505 Requirements	
- Credits for Clean Fuel Outlets Trigger	
John Mough (California Department of Food and Agriculture Division of Measurement Standards (CDFA DMS))	37
- Standardization of Fuel	
Light Duty Vehicle Panel (co-moderated by Bill Elrick of the California Fuel Cell Partnership)	44
Panelists:	
- General Motors - Alex Keros	52
- Honda - Robert Bienenfeld	72
- Toyota - Justin Ward, Advanced Power train Program Manager	84
- Hyundai/Kia - Todd Suckow	105
- Daimler - Rosario Barretta	116
Heavy Duty Vehicle and Off-Road Applications Panel	
Panelists:	
- Vehicle Projects - Dr. Arnold Miller	127
- ISE - Paul Scott	140
- Vision Industries - Lawrence Weisdorn	147
- BAE Systems - John Maddox	156
- BAE Systems - Tom Apalenek	158
- Plug Power - David Pfeil	166
- AC Transit - Jaimie Levin	175

I N D E X (Continued)

	Page
Fuel Production and Distribution Panel	
Panelists:	
- University of CA, Irvine - Dr. Tim Brown	185
- Propel - Rob Elam	200
- Linde - Michael Beckman	209
- Airproducts - Ed Heydom	221
- Hydrogenics - Kevin Harris	236
Public Comment	
Robert Boyd, Linde North America	249
Michael Ramage, Asemblon	255
Larry Watkins	262
Closing Remarks	263
Adjournment	263
Certificate of Reporter	264

1

1 P R O C E E D I N G S

2 SEPTEMBER 29, 2009

9:03 a.m.

3 MS. BAROODY: I think we are going to actually
4 start on time today. Welcome to Sacramento and to the
5 California Energy Commission's fourth in a series of
6 workshops for the 2010-2011 Alternative and Renewable Fuel
7 and Vehicle Technology Investment Plan. We really
8 appreciate you taking the time to be here with us today.
9 And also, welcome, those of you who are listening online.
10 We have had some very successful and informative workshops
11 these past few weeks, and I expect today will be productive,
12 as well.

13 I would like to introduce our team from the
14 Emerging Fuels and Technologies Office of the Fuels and
15 Transportation Division. I am Leslie Baroody. I am Project
16 Manager for the 2010-2011 Investment Plan. With me is
17 Charles Smith, Assistant Project Manager. Peter Ward and
18 Tim Olsen, they authored last year's Investment Plan and are
19 experts on alternative transportation fuels and
20 technologies. Tobias Muench is our hydrogen specialist and
21 he will be helping to moderate the panels today with Peter
22 and Tim and Bill Elrick. Pilar Magana, who you have already
23 met, will be assisting us today with the WebEx and the
24 PowerPoint presentations. This meeting is being publicly
25 broadcast via WebEx and the transcript and audio will be

1 posted on our website.

2 Well, I have a few housekeeping items I need to go
3 over with you. For those of you not familiar with this
4 building, the closest restrooms are out this back door to
5 your left, there is a snack bar on the second floor under
6 the white awning, and lastly, in the event of an emergency
7 or a fire drill, the building will be evacuated, just follow
8 staff to the appropriate exits and we will reconvene at
9 Roosevelt Park which is located diagonally across the street
10 from this building. So that should do it for that.

11 Well, the main purpose of today's workshop is for
12 the Energy Commission staff to acquire information needed to
13 provide the basis for allocating \$100 million in AB 118
14 funds. We need updated information on vehicle deployment
15 and cost, fueling infrastructure, fuel production, and
16 barriers to commercialization. This workshop is a beginning
17 of a data collection process. We will continue with a
18 review of the docketed materials and subsequent dialogue.

19 Well, we certainly have a full agenda today and we
20 want to have time for public comments for those in the
21 audience and those on WebEx. Our introductory speakers will
22 be Peter Ward, who will provide an overview of the AB 118
23 Investment Plan process. Gerhard Achtelik of the California
24 Air Resources Board, he will speak on the zero emissions
25 vehicle mandate, SB 1505 requirements and credits for clean

1 outlets trigger; John Mough of the Department of Food and
2 Agriculture will speak on fuel standardization; the light
3 duty vehicle panel will be in the latter half of the
4 morning; and we will break for lunch at 11:45. At 1:00, we
5 will begin the heavy duty vehicle and off-road applications
6 panel, followed by the fuel production and distribution
7 panel at 2:30; at 4:00, we will have the public comment
8 session with closing remarks at 4:30. And if all goes
9 according to plan, we should be adjourning by about 4:45.

10 As I mentioned before, this is the fourth in a
11 series of workshops that we have had in September. We have
12 one more workshop scheduled for the electric drive
13 infrastructure on October 12th, and that will be held at the
14 CPUC in San Francisco. Just please check our website for
15 further details.

16 Well, the next step in this Investment Plan
17 process is for staff to analyze and incorporate all the
18 information that we have gathered at these workshops. We
19 plan to produce a draft of the Investment Plan in time for
20 our first Advisory Committee meeting on November 19th of
21 2009. We will then have two more public workshops for the
22 Draft Investment Plan, followed by another Advisory
23 Committee Meeting in January. We hope to have a final draft
24 some time in January of 2010. So if you are not already on
25 our list serve, I encourage you to sign up on our website

1 under AB 118, it is in the lower right-hand corner, it is
2 very simple, you just put your name and e-mail in there and
3 you will be on our list serve. So, thank you so much for
4 your attention and I will hand over the mic to Peter Ward.

5 MR. WARD: Good morning, everybody. Thank you all
6 for coming and thank you all for those that are listening in
7 on the WebEx; we really appreciate it. This is going to be
8 an interesting day today, it always is when we are talking
9 about our Investment Plan, and particularly in view of the
10 fact that we are talking about hydrogen technology and
11 commercialization today. We have a good showing here.

12 I would like to go over kind of where we have
13 been, how we got to this point, and where we are going to be
14 going in the future. And we have a very good give and take
15 today; I am looking forward to that myself.

16 California is a big state and it could be a nation
17 state, a population of nearly 37 million people, possibly
18 the eighth largest economy, and one of the largest
19 contributors to GHG emissions in the country. We have 26
20 million light duty and medium duty vehicles and nearly a
21 million trucks. The annual fuel consumption is about 20
22 billion gallons a year, and that is well over a billion and
23 a half gallons a month. In and of itself, we are one of the
24 largest consumers behind China and the U.S. as a whole, 16
25 billion gallons of gasoline, and 4 billion gallons of diesel

1 annually. That is a very big market, it seems appropriate
2 that a lot of the hydrogen development that is going on
3 occurs in this state, as we are going to be needing all the
4 alternative fuels to move forward and to reduce our
5 petroleum consumption over time, reduce our GHG emissions
6 over time, criteria emissions, as well, and improve our
7 economy, many of the public benefits we hope that this
8 program will provide.

9 The California Alternative Fuels Plan was adopted
10 in December of 2007, jointly adopted by the Air Resources
11 Board and the California Energy Commission. It was preceded
12 by a jointly crafted report from the Air Resources Board and
13 the Energy Commission, jointly adopted, as well, setting
14 goals for California to establish alternative fuels at 20
15 percent level by 2020, thereby being able to reduce our
16 petroleum consumption by 15 percent in that same time frame,
17 also to set a goal for 30 percent alternative fuels in 2030.
18 In the Alternative Fuels Plan, we have with us the principal
19 author of that, Tim Olsen is up on the dais there, he can
20 answer any questions specifically about that plan, as he was
21 intimately involved in that over many months in creation.
22 We set a little bit finer goals within that plan, getting to
23 the Alternative Fuels Use, and those goals were set at 9
24 percent in 2012, 11 percent in 2017, and 26 percent in 2022.
25 And we found in that report that these are goals that are

1 attainable under a moderate development scenario. One major
2 thing that the Alternative Fuels Plan was one of its firsts
3 was the Full Fuel Cycle Analysis of all the fuels that were
4 being looked at. This is pretty much unprecedented at that
5 time, and was very conveniently timed for the initiation of
6 the Low Carbon Fuel Standard. We had already begun work of
7 the Full Fuel Cycle Analysis with a modified GREET model
8 developed and cooperatively extended with Michael Wang at
9 Argon National Lab. That work continues for our program,
10 and it is a governing principal for our program as we want
11 to make sure that we have a sustainable program going
12 forward, and set sustainable goals going forward for the
13 development of these alternative fuels. We feel that we can
14 displace 4 billion gasoline gallon equivalents by the year
15 2020; that would achieve the 20 percent goal, and, as I
16 mentioned earlier, all the fuels in the portfolio will be
17 necessary to achieve that goal. Hydrogen fuels and
18 technologies can make an important contribution to this goal
19 with corresponding reductions in GHG and air pollution, as
20 well.

21 Now, to the Alternative Fuels Plan -- I mean,
22 actually, the program that will help implement that plan --
23 this is the Renewable Fuel and Vehicle Technology Program.
24 It was established by legislation, statutes of 2007, former
25 Speaker Fabian Nuñez, Assembly Bill 118, created the

1 program, and was subsequently amended by AB 109, also by
2 Speaker Nuñez. It is important to note that the emphasis of
3 this program is to develop and deploy innovative
4 technologies that transform California's fuels and vehicle
5 types to attain the state's climate change policies. And,
6 of course, we are talking about the Global Climate Solutions
7 Act, signed by the Legislature and signed by the Governor in
8 September of 2006, and the early actions and other policies
9 that stem from that AB 32 climate change program. We feel
10 that this program can be a leader in that sense, we think it
11 can lead not only other states, but our nation and other
12 nations, as we move forward to develop those fuels in the
13 most sustainable way possible, with the clear thought to
14 what implications we have for the development of these fuels
15 in California and how that basic amount of knowledge that we
16 will be gaining will be transferrable, as I say, to other
17 states, our nation, and other nations around the world.

18 The funding and objectives for the program, up to
19 \$200 million per year, was authorized for a period of 7.5
20 years, and this gives an ample long term approach to the
21 development of these alternative fuels, and never before
22 have we had such a robust funding picture over many years,
23 enabling us to send a very strong signal to the market in
24 California, and that signal has been heard outside of our
25 borders, as well. The funding is to develop, produce,

1 manufacture, deploy alternative and renewable fuels,
2 advanced vehicles, vehicle efficiency improvements for on
3 and non-road applications, and we will be emphasizing
4 workforce training and job creation. It will foster the
5 education, promotion and technology centers of excellence,
6 and we will be preparing environmental market and technology
7 assessments all the way along this program. That last
8 element, I think, is particularly important for us as we
9 want to establish a sustainability moniker for this program;
10 I think it is important that we stay up to date and we plan
11 to stay up to date with all the emerging information on
12 these topics, particularly those that affect the Low Carbon
13 Fuel Standard, the Renewable Fuel Standard across the United
14 States, and as we try to develop the resources that
15 California has to produce alternative fuels in the state,
16 mostly from the renewable sources, and emphasizing our
17 available waste stream whenever possible.

18 You may know that we adopted our first Investment
19 Plan on April 22nd, Earth Day, of this year, and now we are
20 about the business of preparing this second Investment Plan,
21 and this workshop is a portion of that. We have had
22 previous workshops and we will have one more workshop after
23 this, as Leslie mentioned. But it just seems like yesterday
24 that we adopted this plan. We basically turned on a dime
25 and, in a strategic move which we had high hopes for, many

1 of those hopes were not realized, but we thought it might be
2 best to see if we could leverage the amounts that we had in
3 our Investment Plan to encourage Federal dollars to come to
4 California, for all those projects that were going to be
5 proposed under the American Recovery and Reinvestment Act,
6 the Federal Stimulus. Many, but not all of those
7 solicitations have been completed, evaluated, and awards
8 announced, not all though, we are still awaiting results
9 from the Advanced Bio-Refinery and I believe ARPA-E
10 Programs. But for the most part, we -- how is the best way
11 to put this -- we were under-inspired by the selection, or
12 the known selection of California projects, which we had
13 many good projects in California. We led the weight of our
14 Investment Plan to that and a lot of the public and private
15 investment of California. We did not do as well as we had
16 hoped, transportation left for vacation, we got a few
17 projects, even Clean Cities, we got a few projects that we
18 will be taking advantage of some of our investment funds.
19 But the battery component, battery and vehicle component
20 manufacturing solicitation, with \$2 billion, notably, we had
21 zero success in that, no dollars placed in California. That
22 having been said, we would like to turn the page now and
23 provide a State solicitation that will have several
24 categories in it over the next weeks, not months, to make
25 sure that a lot of those folks that had excellent projects

1 from our standpoint, in California, we want to help get
2 those realized and put on the books as soon as possible. So
3 we are working quite diligently right now to prepare those
4 solicitations that will feature the criteria and the desired
5 outcomes that we are hoping for our program, many of which
6 are in statute, so that we can come up with some of the best
7 projects in California, that can be a model for the rest of
8 the United States, and possibly the world, as well. That
9 solicitation will be released, as I mentioned, in weeks, not
10 months, and we are hoping to finalize the awards right after
11 the first of the year, if at all possible.

12 Many of the policies that we are hoping to shape
13 our solicitations around and provide benefit for, as I
14 mentioned earlier, climate change reduction goals of AB 32,
15 California's Low Carbon Fuel Standard, which will take
16 effect in about a year and a half from now, and Gerhard from
17 the Air Resources Board will be telling us more about that
18 today. The Federal Renewable Fuels Standards 1 and 2 has a
19 decided effect on how we go forward here in California, as
20 well. I would like to add one to this, and it is the
21 Bioenergy Action Plan and Bioenergy Goals that our Governor
22 set in his Executive Order, and those are that we increase
23 the amount of bioenergy resources and fuels derived from
24 bioresources on a projected path of goals of use and
25 production of that use within California. Those are

1 ambitious goals. We are number 1 in Agriculture here in
2 California and forestry, so if any state can achieve those
3 goals, I believe it is California. As we do that, we are
4 keeping a keen eye to the emerging sustainability
5 discussions that are going on. We want to make sure that
6 what we develop here in California is done in the most
7 sustainable manner possible, and we hope that what we do
8 here in California can be a model for the rest of the world.

9 The Investment Plan for the first two years is
10 highlighted here. Some of these funds were utilized,
11 actually taken up by the Federal solicitations, we have
12 quite a few of these dollars remaining for the
13 solicitations, and I think an approximation of this is about
14 \$100 million remaining, or more, probably exceeding that.
15 Some of the allocations that are not obvious here, and one
16 particularly that I like to point out that is kind of hidden
17 in the market development program support is the \$4 million
18 that we will be hearing more about a little bit later from
19 John Mough of the Department of Food and Agriculture,
20 Division of Measurement Standards, who is going forward on
21 Fuel quality Assessments for Hydrogen and a type approval
22 for a retail dispenser. So we will be hearing more about
23 that, but I want to make sure that is not lost in the
24 background noise here because that is something we have
25 already committed to, and we think it will yield positive

1 results as we go forward in the hydrogen area so we can
2 actually sell hydrogen at retail and make a better business
3 case in the future.

4 Our next steps are the ongoing evaluation of some
5 of the proposals, and especially meeting with those entities
6 that were successful under the federal solicitation, using
7 ARRA Investment Plan funding. And we will be preparing this
8 California based solicitation in accordance with the current
9 Investment Plan, the one that is in place. Why we are here
10 today is for the next Investment Plan that will cover years
11 2010-2011, so we will be finalizing those solicitations for
12 available funding, therefore, and releasing those very soon.
13 We will be updating the Investment Plan for Fiscal Year
14 2011; that is what we are about the business here today for,
15 and now we are hoping to be able to finalize that Investment
16 Plan right after the first of the year, within month of the
17 new year. Thank you very much for your attention and I look
18 forward to a very productive day. Thank you.

19 MS. BAROODY: Thank you, Peter. Now I would like
20 to welcome Gerhard Achteлик.

21 MR. ACHELIK: Good morning. Thank you. And
22 thanks for attending the California Energy Commission's
23 Investment Plan Workshop. I will be giving an overview of
24 the Zero Emission Vehicle Regulations, some of the drivers
25 behind hydrogen, the Zero Emission Vehicle Regulation and

1 other regulations like the bus regulations, SB 1505, all the
2 regulations currently in place at the Air Resources Board
3 that drive some of the need for hydrogen specific and just
4 electric drive technology, in general. And the goal of all
5 these policies and regulations are really two-fold.
6 Historically ground level ozone and PM were the primary
7 drivers for the Air Resources Board, but we have
8 transitioned or grown to include the greenhouse gas
9 emissions reductions, and the big goal is the 80 percent
10 reduction in 2050. And we are looking at these emissions
11 not just at the tailpipe anymore, but we are looking at them
12 both upstream and downstream on a rolled wheel emissions, so
13 the fuel production and the use of the fuel. And for
14 hydrogen, what the background for hydrogen, one of the big
15 drivers was the Governor's announcement in the State of the
16 State Address, and then also with the issue of the Executive
17 Order that directed the State, the Air Resources Board, the
18 California Environmental Protection Agency to work with
19 academia and other government agencies and business to
20 develop a blueprint plan. And out of the plan, this has
21 become an evolutionary sort of effort. The Governor, when
22 he announced this hydrogen highway effort, and we still get
23 pointed at a lot of times, we talk about the plan being a
24 goal to have a station on California's major highways at
25 periodic intervals, but even the blueprint plan already

1 pointed out that we are going to develop this hydrogen
2 infrastructure in a focused effort because the key thing is
3 that the infrastructure needs to be where the vehicles are,
4 and the blueprint plan came out and pointed out the
5 geographic areas where we first expected vehicles to be,
6 pointed at San Diego, the Los Angeles area, and the
7 Sacramento area. That would be the first deployment of
8 vehicles. And that is really what has proven true. And
9 what we have come to now, what the blueprint plan is focused
10 to now is we really are working now on clusters. We are
11 working on clusters within those geographic areas. Vehicle
12 placements are very targeted, and hydrogen infrastructure,
13 as a lot of you know, is still at an early stage, it is
14 still costly, and the volume is not there to be a profitable
15 station, but yet the stations are needed for the vehicles.
16 So we are now focused on clusters. The highway is still
17 there, it is just that we are building the highway in pieces
18 and just as our major interstates were not built overnight,
19 we did not put a million miles all over the U.S. in a day,
20 the hydrogen will develop in pieces.

21 The focus, I will show you on a later map, right
22 now we are still focused on three primary areas, which would
23 be the LA Metropolitan Area, the Bay Area, and the
24 Sacramento Area. Just a slide here on the greenhouse gas
25 emissions, are one of the major drivers for hydrogen is the

1 greenhouse gas emission reduction benefit, and you do get
2 criteria pollutant benefits, too. But, as Peter had
3 mentioned, a large single portion comes from the
4 transportation sector, so the driver for hydrogen is the
5 greenhouse gas reduction goals that can be achieved in 2050.

6 Here is a complicated regulation and a complicated
7 slide. But this represents 2012, and this is the Zero
8 Emission Vehicle Regulation for 2012, and basically a
9 manufacturer can meet all of their obligation by producing
10 zero emission vehicles. Since the technology is still in
11 development right now, and this represents 2012, the
12 manufacturers ZEV production requirements, whether it be 12
13 percent based on their annual sales, but the manufacturer
14 has some optional compliance strategies, and right now a
15 minimum of .79 percent of what they produce have to be the
16 purer ZEVs, which would be either fuel cell vehicle or
17 battery electric vehicle. And then we have the next
18 category, which is now the .79 is a minimum where these
19 other values represent maximums, meaning that the most --
20 especially at the 6 percent PZEV, actually, that is our
21 Partial Zero Emission Vehicle, and those represent the
22 traditional gasoline internal combustion engine, and also
23 represents the natural gas fueled vehicles, and that is a
24 car that is very clean, the emissions were estimated to be
25 roughly about equivalent to what you would get from charging

1 an electric vehicle, and drive 150,000 miles. And these
2 Partial Zero Emission Vehicles also have 150,000 mile
3 emission warranties, so that represents one way the
4 manufacturer can meet their ZEV obligations, and you step
5 your way up to ATPZEV, which represents the hybrids, and
6 actually that is where the Honda CNG vehicle fits in, and
7 the new category that was developed in the 2008 March Board
8 hearing was the Enhanced ATPZEV, and these vehicles will be
9 using zero emission fuels, so they will be using electricity
10 or hydrogen, so you could have the hydrogen internal
11 combustion engine vehicle in this category, or you have the
12 plug-ins, which we are expecting to start rolling out next
13 year. So the ZEV regulation is met through four different
14 paths, and the enhanced path, the enhanced ATPZEV segment is
15 what is now considered the ZEV enabling, or ZEV development
16 portion of the regulation.

17 The program has, although what started as a fairly
18 simple regulation and, as you saw on the glass, has become
19 pretty complex, it has been successful. We have had over
20 250 fuel cell vehicles deployed in California, or 4,700
21 battery V's and a very large number of neighborhood electric
22 vehicles, all of them developing to cleaner air, not to
23 mention even what I do not include in here, the large number
24 of Partial Zero Emission Vehicles, which have provided
25 tremendous emission reduction benefit.

1 So the program has provided a variety of cars that
2 we did not see back in 1990, and all the products have an
3 emission reduction benefit. And the program, the ZEV
4 Program, will continue to become a more focused research
5 under the development of battery electric vehicles and fuel
6 cell vehicles.

7 Given this complex structure, where do we think we
8 need to be? This slide here gives you an overview of
9 vehicle sales only. This does not represent the mix of the
10 fleet. But basically, in order to achieve the 2050 goals,
11 we need to have 100 percent of our vehicle sales in 2050
12 need to be either fuel cell vehicles, or battery electric
13 vehicles, and we expect hybrids and plug-ins, since they do
14 not give us the same criteria and greenhouse gas emission
15 benefits of the pure electric drive, their role will
16 decrease as we go out in time. This does not represent the
17 whole fleet. The whole fleet will also have, you know,
18 hybrids and plug-ins still in operation, and some biofuel
19 vehicles, but we expect the majority of the light duty
20 vehicles will be fuel cells or battery electric vehicles,
21 and biofuels, which is just like any other of our
22 transportation fuel, a limited commodity, and will primarily
23 be found in heavy duty application, and even airplane
24 applications. So, while biofuels will help us get there to
25 2050, we do not expect them to be the major role in 2050 in

1 the light duty field. And the initial curves are fairly
2 shallow. They are based around 4 percent of sales similar
3 to the current hybrids. This slide gives you both the
4 predicted and the required vehicle productions, and the top
5 row where it says required vehicles is just what the
6 regulation, as it stands right now, meaning that if a
7 manufacturer chose just a single path, this is the number of
8 vehicles they would have to apply that are the gold, or the
9 fuel cell, or battery electric vehicles. And this is
10 somewhat also depending on the type of vehicle they produce,
11 and the regulation gives credits based on the range of the
12 vehicle. And from the gold vehicle, gold fuel cell vehicles
13 on down, those are staff's anticipated roll-out of vehicles.
14 And this number -- what the regulation did in 2008, since
15 staff saw a surplus of credits, it sort of forced that these
16 credits be used early on, so you can see that, in our
17 current phase that we are in, we clearly have a lower number
18 of vehicles than what is required, but that is because of
19 the early production of vehicles that the manufacturers
20 prior to this time. So now those credits are being spent,
21 and the vehicle roll-out of new ZEV technologies is going to
22 increase. And these numbers are fairly conservative. In a
23 survey that the partnership did, they came with numbers that
24 were almost double, especially in the 2015-2017 timeframe.
25 These are sort of minimum numbers. And the program goals,

1 as ZEV II is being reviewed December 10th of this year, the
2 staff will go to the Board with a informational report, and
3 again, as a result of the 2008 hearing, the Board directed
4 staff to reevaluate the program and to harmonize it with the
5 other regulations such as Pavley and LEV III. One of the
6 things you see here is that vehicles that were in the ZEV
7 regulation, like hybrids and the Partial Zero Emission
8 Vehicles, the clean gasoline vehicles, PZEVs, will move into
9 what will become LEV III. And the ZEV regulation will move
10 towards developing the ultra low carbon technologies, the
11 electric drives and the -- well, electric drives, be they
12 energize just through batteries or hydrogen. The scale will
13 be to assure that we can get the 80 percent reductions by
14 2050. And in order to get there, we need to start seeing
15 significant numbers, in the tens of thousands, as was seen
16 starting with the 2015 model year.

17 In addition to the Zero Emission Vehicle
18 Regulation, we also have the Zero Emission Bus Regulation.
19 And we have had eight fuel cell buses in operation in
20 California. Three of them are still in operation here in
21 the Oakland Bay Area by AC Transit, VTA, each operated
22 three, and those buses are just in special service now, but
23 AC Transit buses are in daily service, serving on scheduled
24 routes, serving their customers. And some light transit,
25 which is not a regulated, AC is also operating a fuel cell

1 bus. And starting in -- well, actually starting late this
2 fall, we will see the first buses of the 12 bus
3 demonstration being deployed in the Bay Area, and in this
4 case, while AC Transit led the three bus demonstration with
5 Golden Gate Transit, all five Bay Area Transit Agencies will
6 be participating in this 12 bus demonstration, and will
7 actually be sharing these buses at times. And we are
8 looking forward to that. We expect all 12 buses to be in
9 operation by the third quarter of next year. But, again,
10 this points at a need for hydrogen. The purchase
11 requirement, which is right now on the books, starting in
12 2011, is in review, and we expect to delay that a couple
13 years. But there is a definite near term demand to meet the
14 hydrogen demand for these 12 buses.

15 The production of hydrogen was required through
16 the Legislature to meet some very strict environmental
17 standards and it includes the criteria pollutants at 50
18 percent reductions for NO_x and ROG, which is actually -- that
19 is relatively easy for hydrogen to achieve, just almost just
20 freezing hydrogen, and this is a well to tank analysis,
21 meaning we are not even getting the benefits of having zero
22 emissions, we are comparing this to a vehicle, but yet we
23 are not even counting here the benefit of having zero
24 emission miles while driving the car. The way the
25 legislation is written, it required a 50 percent reduction

1 strictly well to tank. So, even just the production of
2 hydrogen from natural gas is cleaner when compared to
3 gasoline vehicle operation. It requires a 30 percent
4 reduction of greenhouse gasses on a well to wheel, no
5 increases in toxics, and this is an item we will be going to
6 the Board with likely in June or July of next year.

7 The challenge for the hydrogen regulation is the
8 33 percent production of renewable sources. And what that
9 means is 33 percent of the energy required to make hydrogen,
10 so if you make hydrogen from natural gas itself, you could
11 not meet the renewable requirement, you need to include some
12 biofuels, or you need -- and you could blend that with
13 taking all the electricity that you used from renewable
14 source. But, just the electricity demand for hydrogen
15 production from natural gas would not be sufficient, that
16 would get you about, oh, two-thirds of the way there, it
17 gets you about 20 percent. And the regulation applies --
18 the renewable requirement -- all of these criteria -- but
19 the renewable requirement is the challenging one, applies to
20 all stations that are co-funded by the state. And it will
21 kick in to all hydrogen production and warrants a threshold
22 of 3,500 metric tons per year has been exceeded. And there
23 are some exemptions, but until the Board actually approves
24 those, and gives the Executive Officer the right to
25 implement those exemptions, they are not in effect. What is

1 in effect is the emission reduction requirements. The Clean
2 Fuels Outlet Regulation is currently another regulation that
3 has been on the books since 1991 and it was developed back
4 then because it was believed that traditional gasoline
5 vehicles could not meet the emission reduction goals that
6 were required to meet the Ambient Health Quality Standard.
7 But that has since clearly been disproven, the auto
8 manufacturers are making incredibly clean gasoline vehicles,
9 so now we are looking at potentially revising this
10 regulation. We are going to the Board in December with an
11 informational report, and that we will be studying the
12 development of infrastructure. Right now, the trigger is
13 based on 20,000 vehicles and, for hydrogen, and battery
14 electric drive vehicles, that number is too large because,
15 as they vehicles are deployed in the early phases, to reach
16 the 20,000 trigger without established infrastructure, is
17 not synchronized, will not work, so we are looking -- if we
18 have to revise the regulation, we will be looking to lower
19 that trigger. And what our objective will be is to assess
20 over the coming year if the state funding will be used to
21 deploy infrastructure, or if we will need to use the stick,
22 I guess, will the carrot work, or will the stick work? That
23 is one of our challenges for the next year. But the Clean
24 Fuels Outlet will be focused on achieving the 2050 goals, so
25 the fuels we will be looking at will be those fuels that

1 will get us to the 2050 goals, and we will be looking at, to
2 the extent that the infrastructure is a hurdle to the
3 deployment of the technology. So, with hydrogen, that is
4 clearly a definite case because the cost of that
5 infrastructure is prohibiting a lot of smaller companies
6 from jumping into that. So, if needed, we will update that
7 regulation late in 2020 in coordination with the ZEV II
8 Regulation.

9 The Low Carbon Fuel Standard was adopted by the
10 Board earlier this year and, as it stands, it looks at -- it
11 requires the manufacturers, as Peter said, to reduce their
12 carbon fuel by 2020 by 10 percent, and it is a graduated
13 scale where the incremental reductions required an increase
14 as you approach 2020, and it starts off relatively slow in
15 the next year. And just as a point of reference, for
16 hydrogen, one estimate is it would be the carbon value is
17 maybe \$50.00 per metric ton. Right now, in the near term,
18 we suspect the driver for Low Carbon Fuel Standards will be
19 the biofuels and not hydrogen and electricity, but that is
20 something we are going to have to track and see how it
21 actually spells out.

22 The interaction of the regulations -- the Zero
23 Emission Vehicle Regulation requires a minimum number of
24 vehicles, so therefore incentives, both the Air Resources
25 Board and the California Energy Program have vehicle

1 incentive programs, and so incentives to vehicles are okay
2 because it is the vehicle production that is regulated, and
3 not the purchasers. So incentives to the purchasers can be
4 provided. For the hydrogen production, if funding is
5 provided for the production of hydrogen, you could still
6 earn Low Carbon Fuel Credits. There is no restrictions on
7 using credits from a station that was mandated by a clean
8 fuel outlet regulation if we were to develop a clean fuel
9 outlet regulation because, again, it is a station
10 requirement, not a specific fuel production requirement.

11 The AB 118 funding -- so this is where we are
12 saying that, if the fuel is subsidized, you cannot get
13 credits, but if the station is subsidized, you could earn
14 credits. If the clean fuel outlet is adopted, only the
15 renewable portion of the AB 118 funding could be supported,
16 not the actual building of the station. So it is a complex
17 complex picture, but the regulations do interact, obviously.
18 And so funding is available to vehicles and hydrogen
19 production, and then, in the future, depending on what we
20 see developed, some of the funding for stations might not be
21 available anymore.

22 Where do we stand today? Peter did point out that
23 this is the Investment Plan for the 2010-2011 timeframe, but
24 one thing to keep in mind, where we are today is you are
25 looking at the hydrogen needs, this is where we are today,

1 and to date no funding for stations has occurred through AB
2 118, so you look at your need from this point forward, this
3 is a map I borrowed from the partnership, and we have four
4 stations that we consider public access stations. There are
5 more stations than that in California, but these are the
6 four in Southern California that we consider public access.
7 It would be UC Irvine down South, and the orange stations on
8 this map are the public access -- Santa Monica, Burbank, and
9 South Coast AQMD. This is what we consider the public
10 access stations. So the Burbank one is actually in jeopardy
11 of remaining open, and then the green stations are the ones
12 that have been funded in the South by the Hydrogen Highway
13 money through the Legislature in the past, and those are
14 currently being built, and we expect those to open in 2010,
15 next year. And while this map only shows Southern
16 California, we do have two projects in the San Francisco Bay
17 Area, one is at the airport and one is in Emeryville. And
18 the Emeryville station is co-located with the Transit
19 Agency, they actually have one side of the station will fuel
20 cars, and then the other side will fuel buses, which is a
21 pretty exciting opportunity. And there is a additional
22 demand needed in Northern California. Now, I just showed
23 this to Southern California because that is the only map
24 that I have prepared so far and it is partnership prepared,
25 so I will have to steal another one from them later when

1 they get the next one. But this is the start of our
2 highway. We can see the start of our highway is the 405
3 corridor. We can go from UC Irvine, Newport Beach, up to
4 Santa Monica, and we are looking to grow. So here is the
5 start of our highway. Now, we are going to work from that,
6 that is part of the Investment Plan is how we grow this
7 plan. And then, in another slide I borrowed from the
8 partnership, is we are now at the early phase, we are at the
9 bottom of this curve here where hundreds of vehicles -- we
10 are going to tens of buses, and we are just starting a
11 handful of retail stations, and we are growing forward. We
12 expect thousands of vehicles and we expect a number of buses
13 to grow. Even with the station we funded at AC Transit, an
14 additional station will be needed because then upgrades will
15 be required to the station they have in Oakland. So we are
16 looking to grow. There is a definite need for
17 infrastructure. And I think that is my last slide.

18 There are links to all these programs on our
19 website, and look for updates and look for changes. Thank
20 you.

21 MS. BAROODY: Thanks, Gerhard. We actually have
22 about five minutes for any questions.

23 MR. OLSON: I have one. Gerhard, I wonder if you
24 could provide a source, the data for your vehicle -- in your
25 slide, I am not sure whether your slide was a compliance

1 schedule, or whether that was just tracking right there.

2 MR. ACHELNIK: This one?

3 MR. OLSON: Yeah. And then the one prior to that,
4 a couple prior to that.

5 MR. ACHELNIK: Okay. This is a compliance
6 schedule here. This is what the first line -- the required
7 vehicles is what the regulation requires. And the second
8 line, the gold fuel celled vehicles, is what we expect to
9 happen based on Management and staff's meetings with the
10 OEMs. And all of these allow -- like the glass slide that
11 said you do not have to build -- you do not have to meet 100
12 percent of your reserve requirements strictly through the
13 pure gold category, so you can see that there is a lot of
14 silver plus vehicles which represent the plug-ins and silver
15 and bronze. Now, this slide represents the regulation as it
16 exists today. The 2015 numbers could change with ZEV II,
17 where the bronze and silver will disappear out of the ZEV
18 portion and go on to Pavley, and into LEV III. But we do
19 not expect the required vehicle numbers and the fuel cell
20 vehicle numbers to decrease because the Board has been
21 pretty consistent about requiring the gold vehicles. And in
22 the last March hearing, just as an example, the Board
23 basically doubled the vehicle numbers that were required
24 from what staff recommended.

25 MR. OLSON: And can you go back a couple? That

1 slide and you had one previous. So --

2 MR. ACHELNIK: This is -- the achievements?

3 MR. OLSON: No, the next one.

4 MR. ACHELNIK: Okay.

5 MR. OLSON: So your legend there --

6 MR. ACHELNIK: Yeah, this is -- what this
7 represents is a projection of -- it represents the vehicle
8 sales we have to have in order to achieve our 80 percent
9 reduction goals and, actually, this graph only gets us to 70
10 percent in 2050, that in order to achieve the 80 percent
11 reduction, we actually need an earlier and steeper kick-off
12 for fuel cell vehicles and battery electric vehicles, but
13 the initial kick-offs on these curves represent, you know,
14 where the lines are flatter, they are based on how hybrid
15 vehicles accelerate.

16 MR. OLSON: Yeah, so I am trying to do a quick
17 comparison of the Alternative Fuels Plan which had a
18 different kind of scenario for 2020.50.

19 MR. ACHELNIK: Well, I think these are sales only,
20 not the cumulative vehicle fleet. Now, the Alternative
21 Fuels Plan showed fuel cell vehicles, plug-ins, hybrids, and
22 natural gas vehicles out still in 2050, but what we are
23 saying is that, in 2050, you cannot have sales of those
24 vehicles and expect to meet the greenhouse gas emission
25 reduction goals at that time.

1 MR. OLSON: And so, did the Board adopt this
2 analysis?

3 MR. ACHELNIK: No.

4 MR. OLSON: Can you also explain, just go back and
5 you made a comment about if fuel is subsidized, you cannot
6 gain credits, but you can for the fueling. Can you just
7 elaborate on what you meant by that? Is that AB 32 credits?
8 Is that financial credits? Is that kind of policy credits?

9 MR. ACHELNIK: These would be -- okay -- this is a
10 combination of -- my understanding and speaking with
11 Management, what are the bounds for both AB 118 and the Low
12 Carbon Fuels Program, and so what we have here -- it is my
13 understanding is AB 118 cannot be used to fund a required
14 program. And so, what this represents is that if, instead
15 of funding the building of a hydrogen station, and the
16 operation of it, you will just give a direct subsidy to the
17 hydrogen, say, whatever, you know, a dollar per kilogram
18 subsidy. Then you could not earn Low Carbon Fuel Standard
19 Credits. But if you subsidized the building of the station
20 and the operation of it, you are not paying for the fuel
21 directly, so then you could still earn Low Carbon Fuel
22 Standard Credits.

23 MR. OLSON: Yeah, there is that, so as you
24 explained, the Low Carbon Fuel Standard has kind of a
25 staggered Implementation Compliance Schedule.

1 MR. ACHTELIK: Yes.

2 MR. OLSON: So if we funded something that, say a
3 fuel production type of project that is an early action
4 before it is required, what is your timeframe for
5 determining what constitutes early compliance?

6 MR. ACHTELIK: You can fund the production of
7 hydrogen; that is alright. But you just cannot fund -- you
8 cannot give a direct subsidy to the hydrogen, so even when
9 the Low Carbon Fuel Standard regulation kicks in, you can
10 still fund the production of it.

11 MR. WARD: Wouldn't that be complied with 1505 if
12 we did, though?

13 MR. ACHTELIK: Well, 1505 requires -- 1505 in a
14 sense allows the funding of renewable hydrogen because it
15 requires any state funded hydrogen to have a renewable
16 component. So 1505 in a sense creates a conflict, but if it
17 came first and it required that state funds be used for
18 renewables --

19 MR. WARD: And that is an existing requirement
20 right now, though. Right?

21 MR. ACHTELIK: Yeah, 1505 is in legislation, it is
22 a law, and it is just we have not developed the regulation
23 that helps implement it.

24 MR. WARD: Do you have plans for the development
25 of a regulation to implement --

1 MR. ACHTELIK: Yeah, we are looking for June or
2 July of 2010, the Board hearing date.

3 MR. WARD: I noticed also that in the ZEV, you may
4 be pushing back from 2011 -- you mentioned, when you go to
5 your Board that it may be -- is that basically expanding the
6 window of early opportunity -- two more years?

7 MR. ACHTELIK: I will go back -- I am not sure --
8 the regulation as it -- our expectation, the regulation is
9 set through 2014, and when we go to the Board, what we are
10 expecting is that the Board will direct staff to start
11 changing the Reg, starting from 2015, and what we expect to
12 see is that the silver and bronze categories will be removed
13 from the ZEV regulation.

14 MR. WARD: Maybe I was referring to the Zero
15 Emission Bus Program.

16 MR. ACHTELIK: Yeah, okay, yeah.

17 MR. WARD: The purchase requirement was in 2011 --

18 MR. ACHTELIK: Right.

19 MR. WARD: -- and it may be pushed back two years.
20 Does that expand the window of opportunity there?

21 MR. ACHTELIK: Yes.

22 MR. WARD: I guess what I am -- this is kind of a
23 floating window of opportunity at this point, depending on
24 what your Board does.

25 MR. ACHTELIK: Yeah, it will be -- right now, our

1 goal also is, in late 2010, to set a new either purchase
2 date or bus performance technology date criteria, and so,
3 yes, that will be delayed to, you know, if I am guessing
4 right now, 2013. And in part, because what we are really
5 waiting for, there are two big demonstrations in the winter
6 of 2010, the Olympics will be taking place up in Vancouver,
7 and they will deploy a 20 bus fleet, and then starting some
8 time the third quarter of 2010, we will have the 12 bus
9 demonstration in the Bay Area, and they will be all 12
10 buses, and that is the data that we are going to rely on to
11 let us know how far the technology has progressed and what
12 our next steps should be. So did that answer your question?

13 MR. WARD: Actually, I think it did. What I guess
14 I am also getting at, in general, and if you can give us a
15 rule of thumb, the regulations that would be coming in to
16 play, I think you folks have a rule of thumb that it is in
17 here, or six months, or something prior to that, that early
18 actions can be afforded without running up against the
19 prohibition we have in our program to not fund any obligated
20 party for a regulation mandate or law. Is that a rule of
21 thumb at six months, or a year?

22 MR. ACHELNIK: I will have to look into that. I
23 do not know.

24 MR. WARD: Thank you.

25 MS. BAROODY: Well, thank you, Gerhard. We

1 appreciate you taking the questions. All right, next we
2 have John Mough with Department of Food and Agriculture.

3 MR. MOUGH: Thank you for the opportunity to be
4 here today. I am John Mough. I am a Chemist with the
5 California Department of Food and Agriculture, their
6 Division of Measurement Standards.

7 What is going on currently is we have got the
8 transition from demonstration stations to commercial
9 stations. We are establishing national state codes for fuel
10 dispensing device requirements, the method of sale, and the
11 fuel quality. Draft codes have been developed by the U.S.
12 National Working Group for Commercial Hydrogen Measurement,
13 they have been introduced to the Regional Weights and
14 Measures Associations, that happened last week in Las
15 Cruces, New Mexico. Draft codes are there for the device
16 design specifications, the method of sale, how we are going
17 to sell this product, which is going to be by the Kilogram,
18 and for advertising and labeling requirements for the
19 dispensers and stations. They are also working on fuel
20 quality specifications, which are taken from the draft SAE
21 Technical Information Report and the current California
22 Regulations. The National Weights and Measures Standards
23 Development Organization are the people who are in charge of
24 developing standards -- the National Conference on Weights
25 and Measures. They will review the draft codes that were

1 just proposed in January 2010, and they will vote in July
2 2010 on these codes. The model codes and standards must be
3 adopted by each state to become enforceable. Now,
4 California adopts these regulations by reference, so they
5 will automatically written into California law, but for any
6 adjacent states, or any other states in the U.S., they must
7 adopt these in their own laws. Also, the device code will
8 not be enforceable, it will be a tentative code for the
9 first couple of years. It will not be enforceable until it
10 becomes a final code. And in California, the Division of
11 Measurement Standards will have to write California
12 regulations for the device design, the method of sale, and
13 we already have the first fuel quality specifications in the
14 country.

15 The people that we have been working with on the
16 fuel quality specifications are ASTM in terms of developing
17 the test methods to measure the contaminants, the SAEJ2719
18 Committee, and International Organization Standards, they
19 have a draft out right now of 14687-2 for PAM (phonetic)
20 fuel cells. It is interesting right now, the California
21 regulations that we have in place, the SAE specification
22 with the Technical Information Report, and the ISO Standard
23 are all harmonized. So what is going on here in California
24 is the same that is going on across the United States and
25 throughout the world.

1 Current work at DMS is going on is the current AB
2 118 Investment Plan gave \$4 million to DMS to research and
3 develop the fuel sampling procedures because we needed to
4 make sure that when we go out and take a sample that we have
5 a manner of doing it which is truly representative of the
6 product that is being sold to the public, and that everybody
7 can take a sample in the identical manner, so anybody can go
8 out there and take a sample and be assured of the results
9 they are getting. We are also working on the laboratory
10 analytical methods and the fuel dispenser testing methods,
11 and the test methods for testing the dispensers. The Inter-
12 agency Agreement between the Energy Commission and DMS is
13 being finalized as we speak, it has been kind of a long
14 tortuous process, but hopefully it will be within the next
15 couple of weeks that will all be wrapped up.

16 For part of the next Investment Plan, we would
17 like to see the validation of analytical procedures.
18 Analytical procedures can be developed, but they are not
19 valid until what is called the Round Robin study has been
20 done on that, where a number of laboratories that routinely
21 perform this analysis take a sample, test it, and inter-
22 compare their results to see what is the standard error in
23 the test measurement. That gives us, then, numbers that we
24 can use to set guidelines for the enforcement standards.

25 We need to really establish a permanent fund for

1 alternative fuels. The problem is, the funding for the fuel
2 quality program is not to be used for alternative fuels, so
3 our current existing Motorola Assessment Feed that funds our
4 Petroleum Product Program for the Division of Measurement
5 Standards, it is not to be used for alternative fuels. The
6 funding for dispenser evaluation is paid for by
7 manufacturers who submit a prototype dispenser for
8 certification. It is not enough to pay for development of
9 new test methods and procedures. And general funds pay for
10 the dispenser testing program currently, and that keeps on
11 shrinking. Traditionally, it is county weights and measures
12 employees who test fuel dispensers, retail motor fuel
13 dispensers, but they have no expertise in testing new
14 equipment.

15 Here are some useful links. The first one to the
16 NIST, Weights and Measures Division, the proposed draft code
17 for the devices is under the link through the U.S. National
18 Working Group, National Conference on Weights and Measures,
19 so the people who will be adopting those specifications, and
20 here is something to our website, and then here is contact
21 information for who you need to see at DMS. I am the
22 chemist in charge of fuel quality requirements, Kristin
23 Macey, she is the Assistant Director, she is on the U.S.
24 National Working Group and on the National Conference of
25 Weights and Measures, and Mr. Dan Reiswig, who is the

1 Manager of the California Type Evaluation Program. That is
2 it.

3 MS. BARODY: Thank you, John. Are there any
4 questions for John?

5 MR. OLSON: John, this is Tim Olson with the
6 Energy Commission. I wondered if you could just elaborate
7 on, well, my understanding of this process is that the fuel
8 line stations cannot sell hydrogen until this process is
9 completed. And can you give us an estimate of what that
10 timeframe would be?

11 MR. MOUGH: Currently, no fuel dispenser
12 manufacturers have submitted any prototypes to us for
13 evaluation. What their timeline for doing that is, is
14 unknown. If we were to receive one today, we would take it
15 through a draft code, since the National Conference on
16 Weights and Measures has not adopted any code, we would have
17 to use a modification of the procedure that we use for CNG
18 dispensers at this time. But we would be happy to see any
19 dispensers that came in and evaluate them. I would imagine
20 that the timeframe to get the evaluation done would be on
21 the order of six months.

22 MR. OLSON: And another question on the -- as you
23 go through this process, how do you distribute the
24 information? How do the implementers understand how to use
25 your standard? Do you have a training program? And,

1 frankly, I am not sure if this was part of our interagency
2 agreement, but if it is local Weights and Measure people who
3 monitor and implement this type of program, how do they get
4 that information?

5 MR. MOUGH: The Division of Measurement Standards
6 has a rigorous training program throughout all the counties
7 in California. So they will be trained on how to do it on a
8 pretty much as needed basis. As Gerhard pointed out, it
9 looks like the first concentration is going to be in the LA
10 area, San Diego, San Francisco Bay Area, Sacramento Areas.
11 So the affected counties with those dispensers would be the
12 first that we would target for training on how to evaluate
13 the dispensers.

14 MR. OLSON: And in your recommended actions for a
15 future Investment Plan, do you have any estimated costs for
16 those items you had on your list?

17 MR. MOUGH: No, I do not, but I would be happy to
18 round up some numbers and get them to you.

19 MR. OLSON: Very good. I appreciate it.

20 MR. ACHELNIK: This is Gerhard Achtnik. I have a
21 question, too, John. In your current funding, does that
22 include the cost of the actual hydrogen quality test in your
23 development of the standard, or if a station was to call you
24 up to have the quality of their hydrogen evaluated, is
25 actual testing included in that?

1 MR. MOUGH: There is some funding in there to do
2 the actual testing. Because the test methods have not been
3 standardized and finalized yet, and no validated test
4 methods -- there are some draft test methods out there, none
5 of them have been validated, we could not take any
6 enforcement one way or another. The testing that we do, the
7 numbers will be available to the hydrogen community.

8 MR. OLSON: One other question, John. I heard you
9 say that this process in July of 2010, each state needs to
10 go through an adoption process. Does that imply that, if we
11 go through an adoption, that we have to wait for other
12 states before we can actually implement our program?

13 MR. MOUGH: No. California adopts the National
14 Conference of Weights and Measures by reference in their
15 laws, in our laws, we adopt it by reference. Several other
16 states do not. For example, Connecticut, which is looking
17 and moving forward on some of the hydrogen infrastructure
18 and hydrogen highway, does not adopt them by reference. So
19 it will be kind of a piecemeal process as it moves across
20 the United States. What we found so far in the hydrogen is
21 that, what happens here in California is pretty much what
22 happens throughout the rest of the United States. No other
23 state in the United States has developed any hydrogen
24 specifications yet, we are the first state to do that. It
25 is my belief that most other states will just adopt our

1 specifications pretty much by reference.

2 MS. BAROODY: Okay, John. Thanks for your time
3 today. I appreciate it. Well, we will move right on to our
4 Light Duty Vehicle Panel. And I would like to introduce
5 Bill Elrick of the California Fuel Cell Partnership, and he
6 will be introducing our speakers today.

7 MR. ELRICK: Okay, thank you. Thank you for the
8 opportunity to speak with you today. As the California Fuel
9 Cell Partnership, a member organization with industry in
10 government, educational, transit agencies, I want to give an
11 update first on where we see the industry now and over the
12 next couple of years. So I will jump in without some
13 slides. What I want to show you first --

14 MS. BAROODY: Oh, hold on just a second. Pilar is
15 getting a presentation ready.

16 MR. ELRICK: Thank you. Great. What I want to do
17 is, I know you have seen some of this information before,
18 but to review the Action Plan which was developed last year
19 by the collection of industry and government partners. This
20 plan explicitly outlines how we plan to move from this
21 demonstration phase that we are exiting from, and through
22 the Valley of Death, and into the commercial market. It
23 calls for 40 new, in support of six existing stations. It
24 focuses on three areas; they are light duty passenger
25 vehicles in LA, transit buses in San Francisco Bay Area, and

1 development of necessary regulations, codes, and standards
2 in the Sacramento Region. Altogether, the plan was
3 developed to move us through 2014, and requires
4 approximately \$180 million by both industry and government
5 together. The \$40 million outlined in the CEC Investment
6 Plan will continue California's leadership in this area, and
7 move us purposefully into this commercial market. And it is
8 very important that California remains the world leader in
9 this area, not just because of the energy and environmental
10 benefits that they offer, but so that we retain and expand
11 the job creation and the economic benefits that the
12 technologies offer.

13 Through 2014, automakers expect to place 4,300
14 light duty fuel cell vehicles in California. Most of these
15 vehicles will be located in Southern California,
16 concentrated in four communities of Los Angeles, those are
17 Santa Monica, Irvine, Torrance, and Newport Beach. The
18 Action Plan is designed to meet the needs of these 4,300
19 vehicles, while also building the foundation for meeting the
20 needs of the almost 50,000 vehicles planned through 2017.
21 We are now actually finishing the local community-based
22 Action Plan, helping these communities so that they are
23 working from the ground up, it is based on the Clean Cities
24 Program.

25 Turning now to transit, the San Francisco Bay Area

1 Program is a unique collaboration of five transit agencies,
2 and they are moving forward to jointly own and operate 12
3 fuel cell buses, with funding and support from the FTA,
4 these buses will soon serve passengers throughout the Bay
5 Area. This program will be the largest of its kind in the
6 United States and it is closely watched by FTA as a crucial
7 part of their electric drive strategy. By 2014, the
8 consortium could have up to 60 buses in operation. This
9 area, the San Francisco Bay Area Region, will also serve for
10 up to 700 light duty fuel cell vehicles by the 2014 time
11 period.

12 The third focus area is regulatory. California is
13 the first state to regulate hydrogen as a transportation
14 fuel. As John just pointed out, the California Department
15 of Food and Ag's DMS Group and other regulatory bodies are
16 creating those regulations, processes, and procedures
17 required to sell hydrogen as a retail fuel. Transparent
18 access to a state-of-the-art station in the Sacramento area
19 is vital to their success, and that is included in this
20 Action Plan. The commercial success of all the stations in
21 the industry throughout not just the state, but even the
22 U.S., will depend on their work.

23 So the question is, since the Action Plan released
24 last year, are we making any progress? On the vehicle side,
25 we are very close to the planned number of vehicles for the

1 end of this year. This data is from actually June of this
2 year, so by that time we were right on track, and this is in
3 spite of the economic downturn. In the case of transit
4 buses, the 12 vehicles described earlier are on the plan to
5 be deployed both the end of this year and the beginning of
6 next, with the whole operation.

7 We are also seeing progress in the new station
8 development, with the seven state funded stations and
9 several private industry stations in various states of
10 construction. These stations are now following the Action
11 Plan's cluster approach developed from our early
12 experiences. We learned that the hydrogen highway must
13 start somewhere, and in this case, it is along the 405
14 Freeway in Los Angeles. This is similar to the development
15 of the first freeway in the U.S., a few miles of road that
16 stretched between Pasadena and Los Angeles, and now
17 stretches over every reach of the United States. Several of
18 these stations further illustrate the transition to
19 commercialization, with hydrogen equipment being deployed in
20 existing conventional gas stations. One of these is even a
21 new independent operator that was funded through the state
22 assistance.

23 Progress to date on the regulations, we talked
24 about the SAE standards, they are going to bow it, as John
25 said, we do have the CHAP process which is based on the

1 Clean Cities with a local community outreach plan for
2 getting the grassroots, so we have top down and bottom up
3 approach. We have been working closely with DMS on their
4 needs, holding station builders' workshops and other
5 outreach activities so that we get all the different players
6 and stakeholders on the same page. We have even started to
7 create a mobile application to get real time station status
8 so that the early users, when there is still limited
9 infrastructure, know before they drive to that station, if
10 it is online, how much fuel is available. So we are
11 building all the different pieces and putting all the people
12 together so we make sure this is a success.

13 Okay, we see here as the previous demonstration
14 stations, listed here as existing supply, are phased out and
15 the newly funded stations come on line, that we are able to
16 meet the infrastructure needs for the next few years.
17 However, as vehicle deployment grows and we move from
18 hundreds to thousands of vehicles, we need to plan and
19 support additional hydrogen infrastructure. These next few
20 years are critical to this long term success. Supporting
21 the early infrastructure network until a critical mass of
22 vehicles arrives, with OEM's planning for the commercial
23 models around 2014-2015, and later reaching tens of
24 thousands of vehicles by 2017, now is when these early
25 station operators, most of them small local businesses, need

1 this government support. Once through this Valley of Death,
2 government support will not be as crucial and the market
3 will begin to pull additional stakeholders into the game.

4 So are we ready to move forward with hydrogen fuel
5 vehicles? The vehicles are ready and you will hear next
6 from the OEM's since they are moving from these R&D
7 demonstration stages into commercial deployments. Large
8 energy companies such as Shell and Chevron, and new start-up
9 and independent businesses such as Propel, are moving
10 forward in partnership with government with station plans.
11 Government such as the hard work done by the CEC in their
12 Investment Plan, and the U.S. Congress and DOE recent
13 recommitting to the industry partners, are moving forward.
14 New players are also entering the market both here in
15 California and the U.S., such as Linde coming to compete
16 with some of the existing equipment providers. They are
17 building larger and commercial stations now, so the
18 equipment makers are moving forward. We are seeing other
19 fuel cell applications, forklifts, stationary applications,
20 and back-up power showing early market success. Some, like
21 Horizon, which made a profit by selling small hydrogen fuel
22 cell model kits have now expanded their plans and have
23 recently announced new vehicle plans, full scale light duty
24 vehicles in the European markets. They are moving forward.

25 Industry is on track to meet, or exceed in many

1 cases, nearly every benchmark set up by the Department of
2 Energy. The technology is moving forward. But most
3 importantly, industry, all the stakeholders, the automakers,
4 the equipment providers, the transit agencies, and
5 government have clearly outlined a plan to move forward and
6 are committed to this in the Action Plan. There is no
7 question, we are ready to collectively make hydrogen fuel
8 cell vehicles a commercial success.

9 That is what I wanted to do, outline just really
10 quickly the Action Plan and what we did as an industry to
11 get here. If you have any questions before we go to the
12 OEMs.

13 MR. OLSON: Thanks, Bill, for a good presentation.
14 I wonder if you could just elaborate on a couple slides
15 there. So, for example, your demand table, I do not know if
16 you can go back to that. The question I have -- right there
17 -- you have got the row that says "recently funded supply,"
18 that in 2014 goes from 680 to zero, is that the ARB --

19 MR. ELRICK: Those are the ARB stations, so they
20 are not the private stations right now, and the reason it
21 goes to zero is we were very conservative in this plan, and
22 when the stations, even though right now we are seeing a
23 difference where the early DOE demonstration stations are
24 ending up this year, they are starting to close because
25 there is no funding moving forward, we are working on

1 keeping some of those open once it makes sense. We do not
2 have, cannot say that in 2014 we have secured funding to
3 keep going. We think, at that point, we will start to see
4 more of a market pool and be able to do that, but we were
5 very conservative and said, "At this point, we do not know."

6 MR. OLSON: So that 680, that means that the
7 capital costs are covered, but operating costs are not in
8 2014? Is that --

9 MR. ELRICK: Yeah, by that time capital costs have
10 already been paid for from the beginning, but there are no
11 ongoing operational maintenance costs.

12 MR. OLSON: And what do you estimate that to be
13 for those stations?

14 MR. ELRICK: It depends on the size of the station
15 and the type of station, and I hate to say "it depends," but
16 it could be anywhere around \$200,000 a year, depending on
17 the type.

18 MR. OLSON: And you have another slide that was
19 your Action Plan rollout for vehicles, going back. I think
20 it was -- that was one of them, maybe that -- yeah, right
21 there. Do you have a breakdown of the clusters for Northern
22 California somehow?

23 MR. ELRICK: Yeah, in the Action Plan, the full
24 plan, which we can make available, or have made available,
25 it breaks down many of those communities.

1 MR. OLSON: It would be good if you could put that
2 into our record.

3 MR. ELRICK: Absolutely. It is one of your first
4 Investment Plan records, but we will resubmit it.

5 MR. OLSON: And the date of this -- when did you
6 do the survey?

7 MR. ELRICK: The last survey was 2008. We do it
8 actually twice a year, a less comprehensive survey. We are
9 actually gearing up right now for the '09 survey and we can
10 have that by the beginning of 2010.

11 MR. OLSON: So is it possible that some of the --
12 because of the economic downturn in the last year, that some
13 of these numbers might change?

14 MR. ELRICK: They might. We will see when they
15 come. I think we will have to hear what the OEM's say next,
16 but I can say that the early feedback is they do not change
17 much at all. But we will know in a few months.

18 MR. OLSON: Okay, thanks a lot.

19 MS. BARODY: Thank you, Bill. Now, would you
20 like to introduce our light duty panel now?

21 MR. ELRICK: Absolutely. First, we have Alex
22 Keros from General Motors.

23 MR. KEROS: Good morning. I am not sure who
24 actually created the agenda, but I would like to thank them.
25 I am in sort of a weird spot, they usually put me after

1 lunch. Obviously, I am a pretty passionate guy and excited
2 to be here. So today is a big day, actually. Somewhere
3 across the United States, there is an initial DOE
4 subcommittee appropriations vote going to ballot, I believe,
5 later this evening, which is pretty neat, and I would like
6 to echo Bill's comments, where I would say a couple months
7 ago I think many in this room were scrambling. We were
8 facing a zero funding situation, perhaps negative funding
9 situation. Most of the people in this room sort of had a
10 call to arms and went and did something about it, and I know
11 what is sitting on this vote today is actually a plus
12 number, one that looks to the future for hydrogen. So it is
13 pretty neat. I think we are here and I would call it a
14 renewed focus, and to use this focus wisely and really
15 expand the industry. So excited to be here.

16 Many of you have seen this slide, if not from
17 General Motors, the fact remains it still applies. This is
18 our alternative fuel vehicle strategy, if you will, our sort
19 of "Let's Get Ourselves Off Petroleum" strategy. I was
20 thinking, there is a magazine that used to come out called
21 "Horseless Age," right? About 100 years ago? Who is going
22 to make up a name for the next magazine? It is like
23 "Gasolineless Age," or what not? But certainly we are
24 talking about the right-hand side of this slide and, really,
25 GM has continued to remain committed to fuel cell vehicles,

1 along with a host of other technologies. We like to say,
2 "You pick the technology, we can build it," and, really,
3 that is the focus. Today, let's talk a little bit about
4 that right side.

5 So, really, what we are looking at is continued
6 sort of interest in GM's program. People have heard me talk
7 about it, we have launched our first vehicle two years ago,
8 September of 2007, we took delivery of it. And all the
9 engineers were like little kids. I can tell you, after two
10 years, we are still like little kids, we love the cars. The
11 people who drive the cars are extremely interested. Over
12 80,000 people have raised their hand on this program in the
13 three target locations of Los Angeles, California, New York,
14 and D.C., 116 vehicles have been on the road, continue to be
15 on the road in four countries, a majority of those vehicles
16 are out of our hub in Burbank. We have deployed a little
17 bit up here to support ARB and what not, but most of these
18 vehicles are down in Los Angeles. We are about 80 drivers,
19 and we are talking family drivers, we are not talking fleet
20 drivers, we have business opportunities with Disney and
21 those sorts of things, but this is really key to everyday
22 people that have been in it. We have estimated pretty
23 successfully about 10,000 people have driven the vehicle.
24 And frankly speaking, I do not know if I have heard a
25 negative comment of those 10,000 people. We certainly have

1 some sort of people who swayed to a different technology,
2 that is understood, but overall, people who get in this car
3 are pretty amazed, including me, who continues to drive it
4 every day and am still thrilled with it.

5 Another part of our program, which I will talk a
6 little bit more, but 13,000 fills -- a lot of people talked
7 about how the infrastructure is sort of coming along, it is,
8 really in that year and a half timeframe, 30,000 kilograms
9 is not insignificant. Obviously the gasoline saved there is
10 something we are pretty proud of. Two winners -- in New
11 York, I continue to see people scraping their windows of
12 their fuel cell vehicles, another cool thing, these things
13 probably were not thought of years ago, we have vehicles
14 sort of 25,000 miles plus on them continue to generate
15 amazingly so, any engineer in this room will tell you, the
16 cars that drive the most are your best cars. So those ones
17 that have 25,000 miles on, we are pretty most impressed
18 with, we see the longevity of those cars continuing. And
19 recently, everybody has heard, we have announced a million
20 miles on the program in roughly those 18 months.

21 The other half of our program has been and
22 continues to be -- I cannot sit up here and tell you GM is
23 not committed to the fuel cell technology without telling
24 you, yes, we have spent \$12 million on infrastructure for
25 our program. It means something to us. People know about

1 these stations. We went out there partly to support our
2 program, partly to support the industry, and partly for our
3 leadership to learn. We understand an infrastructure
4 probably about as good as anybody out there at this point.
5 We own, lease, install, operate and maintain all the way
6 around on these. It is actually not the last year, it is 13
7 months now, we actually did first fills on another eight
8 fueling systems in this country, three of those are sitting
9 in Los Angeles, and at least two of those will be opened up
10 to our competitors. We know all of the equipment providers,
11 we continue to understand their technologies, we help them,
12 we work with them, they work with us. It is an open
13 dialogue at the end of the day. We are all over the world,
14 people understand that. And really, when it comes down to
15 it, why are we doing this? There is a lot of learning.
16 Project Driveway is about learning, and obviously the
17 technology development is a huge piece of it, and likewise
18 the project management, you know, a lot of people come up to
19 me and say, "What do we need? What do we need?" DOE asked
20 me several weeks ago. And I will tell you straight up, we
21 need Project Managers. We need to take this out of the
22 sandbox and start making it happen. The technology is
23 there. We are on the right path. We are certainly heading
24 in the right direction on every level, now we have to sort
25 of -- let's go execute a market. We have a lot of data,

1 continue to have a lot of data. We have systems with over
2 5,000 kilograms on them. In fact, one of those systems was
3 the cheapest ones we installed. And one of the problems
4 with not only myself, but the company, is the handshake to
5 first fill at LAX, that clean energy station sort of showed
6 an example of, you know what, we do not need a year and a
7 half to install these stations, it could take five months.
8 You know, a year and a half is a waste of everybody's time.
9 That is why prices start -- you know, costs start driving
10 higher, and those sort of things. So another one of those
11 proud moments for us.

12 So next step, obviously we have 115 vehicles on
13 the road, we will continue to have those vehicles on the
14 road, give or take some, depending on situations. I think
15 you have heard it from others, and I will reiterate it, the
16 fact of the matter is, we are not going to go play in the
17 sandbox anymore, GM is not going to probably sit around and
18 do another 100 - 200 car fleet. Really, at the end of the
19 day, I think we believe we have learned a lot of what we are
20 going to learn, not to say we are not going to continue to
21 learn, but, really, we are going to take the existing fleet,
22 we will put in -- you will see some slides here -- "some
23 technology insertions," meaning we will basically beef up
24 the robustness of that fleet, and what we are doing right
25 now, it is really putting our hands around what does a

1 reasonable automotive volume look like, how are we going to
2 go do that? And I am sure most everybody here will agree,
3 that is where we need to go. You can only play so much, if
4 you will.

5 Here is the timeline. This timeline is something
6 we believe in, we are shooting for 2015, sort of for these
7 reasonable volumes. There are no numbers on that, and there
8 is a reason why there is not, it is because of that bottom
9 line. There is obviously some risk associated with the
10 current environment, which includes, let's take today's
11 vote, if you will, government policy, the ongoing
12 infrastructure initiatives, we have to get there, to be
13 honest. You know, GM cannot go and spend a lot of money on
14 infrastructure again to be able to support a fleet. We need
15 this to be sort of everybody involved in it. And also, I
16 think it is fair to say these early vehicles are going to be
17 somewhat more expensive and we need some sort of incentive
18 to drive the market.

19 Some of you may have heard, we announced our fifth
20 generation stack, and I have actually seen it in the lab
21 working. Right now, it is sort of sitting up there, it is
22 what you guys saw in the press release. Right now, the
23 Project Driveway vehicles are sort of early development
24 vehicles. The program life is, "Hey, go execute," really a
25 full program, it was not, "Go execute a stack," if you will,

1 it certainly is a big piece of it. Right now, as we speak,
2 we are doing those updates, those technology insertions to
3 really drive forward. You can see in this slide our gut and
4 these are sort of volumetric, if you will, we are going to
5 double what we think our durability is on the stack. We are
6 certainly moving towards those places. Our commercial
7 stack, if you will, the fifth generation, meets every
8 expectation.

9 Likewise, you know, when you talk cost, you are
10 going to talk platinum, when you talk cost, you are going to
11 talk about simplicity of the system, our fifth generation
12 stacks are really driving out a lot of those costs. I think
13 we had 220 pounds lighter stack, it about fits in the size
14 of basically a 4-cylinder, it is roughly the half of the
15 size of the existing stack in the Equinox, so we are really
16 driving forward again to get to these things, so there are
17 steep learning curves here -- in the positive direction.

18 So, if you will, largely the left side of the
19 enablers is going to be economics driven. It is, I think,
20 why we are here today. If we had the perfect business case
21 out there right now, it would be being done, if you will.
22 So what we really need, really, to drive forward the program
23 is we need DOE funding involvement, certainly. We need
24 development investment incentives for the OEM suppliers. We
25 really want to continue along this path. Like I said, we

1 are not there, but we are heading in the right direction.
2 And then, likewise, how do we incentivize the market side of
3 things? The tax credits, the education, you know, carbon
4 taxes, all of these things have to be a part of this policy
5 moving forward.

6 The barriers, I think we all pretty much get it.
7 I am not going to sit here and beat it into you, but
8 certainly the cost is one side of thing, the infrastructure
9 is another side of the thing. And right now, it is sort of
10 the last bullet on the right side, as well as sort of the
11 summary there, is we need some certainty, right? We need to
12 understand how to drive this industry forward, and that sort
13 of starts with our leadership in the country saying, "Hey,
14 you know what? This makes sense, this is the path we are
15 going to take," and sort of everybody jumps on board, if you
16 will. And that certainly, in my opinion, would apply
17 likewise to California. We have led the industry, to begin
18 with, and we should continue to.

19 So where do we stand, sort of a little bit in
20 summary here, frankly, I believe we are among the leaders.
21 We have over 20 years of involvement in this, a lot of
22 dollars spent. We continue after two years to brag about
23 having the largest fleet. We basically believe we have the
24 strength in all of the technical areas that we need to
25 really drive this forward to the next step, these reasonable

1 automotive volumes. We estimate that the industry, and this
2 is probably underselling it, there has been a lot of money
3 spent, likewise. So you know, where do we go? We really
4 need to balance the high volume introduction with the
5 infrastructure, I think everybody has said that, I will give
6 you another answer on the next slide to that point. We
7 really need to focus everybody on sort of these policies
8 that are consistent and longer term, both at the federal
9 level and the state level. And certainly, the economics of
10 it really help drive getting over this network effect. GM
11 continues to aggressively pursue fuel cell technology. We
12 sit up here very proud of where we have gone, and we are
13 very proud of where we are going on this. That being said,
14 there is a lot of risk and certainly in light of the current
15 financial situation of this company, we cannot afford to
16 ignore that. That is the honest truth at this point. We
17 really need to basically get everybody together again on the
18 policy side, and push forward. So the requests -- I have
19 sort of said that, again, we really need to focus on the
20 existing infrastructure, make sure that is good, build up
21 some new stuff, we really need to keep sort of the
22 conversation going at the DOE level, I think we all
23 appreciate we were a little bit blindsided by what we
24 thought was going to be an open administration, so obviously
25 we need to continue to do outreach at every level, all the

1 time, and not rest on our laurels. And, frankly, one thing
2 that I think extends a little bit from the great work that
3 the partnership has done through the Action Plan is really
4 to revisit how do you do hydrogen in this state. I think it
5 would be a wise dollar spent, if you will, if we really sit
6 down and start to integrate a lot of what Gerhard said, a
7 lot of what Bill said, a lot of questions you have. This is
8 becoming a very very complex problem, given how many laws
9 there are in different places, the fact that renewables are
10 here, and really, to take the Action Plan, how do we go
11 execute the Action Plan? In some cases, I think there are
12 notations there to go do that, "Hey, let's go to these
13 communities and educate these people," and those sort of
14 things, but how do we get from the natural gas to the
15 renewables? How do we understand the requirements, the
16 risks, the outcomes in these key priority areas? Really, to
17 take a deep dive, in many ways these types of studies and
18 market tools have been executed for Ethanol, and biofuels,
19 they have been executed for other alternative technologies,
20 maybe it is time to actually right now to evaluate in the
21 next three to four years, before that, but we were going to
22 use in the next year or so, to really drive down how to go
23 make hydrogen happen. What does that mean in terms of
24 renewables? And, of course, I am not a person who offers up
25 a problem without a solution, GM is certainly willing to

1 help every aspect of such an effort. So that is the end, in
2 case you did not see, that is a real picture, what our
3 latest news release was, I believe last week, I think last
4 Thursday, as part of the DC -- it was announced from Charlie
5 Freese and whatnot. So I am done. Thank you. I go fast,
6 so I apologize.

7 MS. BARODY: Thank you, Alex.

8 MR. WARD: Yes, I have a question, Alex. Thank
9 you for laying that out very well for us and we certainly
10 feel your passion on this, as well. We definitely want to
11 try and find a way through to make sure that we can meet, I
12 think, what is the most pressing, which is providing the
13 infrastructure to make sure that the trajectory for the
14 introduction of these vehicles is steady. Toward that end,
15 I think I am going to ask you, but I am not just going to
16 zone in on you, but I think we will be asking all of the
17 auto companies, is what is their take, and how would they
18 help us in making a business case for the retail
19 infrastructure for hydrogen. That is, using the resources
20 that we have available in the most capital efficient way, to
21 make sure that these are not wasted assets going down the
22 road. And I do not even want to infer that they would be,
23 but this is going to be a very strategic look at, as you
24 mentioned, your corporation has gone through some economic
25 turmoil, the State of California corporation has gone

1 through a little bit of economic turmoil, as well. So we
2 can see that we are going to have resource constraints. And
3 given that reality, and the fact that you and all the
4 automakers have worked well with the energy industry over
5 time to match up, and sometimes you are at odds, but to
6 match up the vehicles, and the fueling infrastructure
7 necessary to support those vehicles. I think we are going
8 to be leaning on you, as well, and you mentioned that you
9 would do anything in every aspect of this to help with this,
10 so I am probably going to take you up on that, but we would
11 like to get your best ideas on how we can actually transform
12 this from a government supported program to a retail and
13 thriving infrastructure for the time, and we have a few
14 years now before the roll-out of these larger numbers of
15 vehicles to come. So it is going to be a question of all
16 our automaker friends and also of the hydrogen producers,
17 suppliers, and those who will be a host for stations. This
18 is really, I think, where the rubber is going to meet the
19 road, so that we can make sure that our efforts here are
20 not just one, two, or three years, but are sustainable over
21 the long period of time, and have a trajectory necessary to
22 achieve success.

23 MR. KEROS: They will partly be vague, not on
24 purpose, but because I think the answers are, they are sort
25 of ambiguous to a certain degree to begin with, in my

1 opinion. First of all, I am going to pass the buck to the
2 energy guys, the equipment providers, because at least on
3 that side of things, personally, I see that there are some
4 technology improvements on the station side that we can
5 certainly take, meaning novel approaches, we are not making
6 hydrogen on-site, maybe we are doing it as a cluster city
7 where you do five stations, but only one of those stations
8 is producing the hydrogen, and we are shipping out to other
9 areas. So I think there are certainly novel approaches out
10 there that can be executed. That being said, my biggest
11 learning on the infrastructure side of things has really
12 been go do it. I will be honest, some people have heard me
13 -- I did not have the luxury of a timeline that went out
14 years. I got phone calls from my counterparts in Chevrolet,
15 who are executing a marketing program and all these things
16 we have said, literally at 6:30 in the morning, "Where the
17 hell are the stations?" And so, that type of market
18 pressure, if you will, really makes things different, it
19 changes your perspective, it sort of forces you to go
20 execute. I have heard in many cases, and hydrogen is not
21 the only one, it is all alternative technologies, "Oh, it
22 takes that long to do something. Why?" That is the
23 question we have to start asking ourselves. Why does it
24 take a year and a half to permit something? And if it does
25 take a year and a half to permit something in, let's say,

1 the City of Los Angeles, why aren't we doing something about
2 it? So, in many cases, the simplicity of the answer is go
3 do it. See where the weak points are, and then come back
4 and start to fill in those gaps. To date, we really do not
5 have a lot of good examples. Really, we have -- Gerhard
6 said there are four retail stations -- the honest truth in
7 that, there is probably one or two that, really, you could
8 say, "Yeah, those are retail stations." So we are sort of
9 the cusp of, "Okay, how do we go execute these?" And,
10 again, to a certain degree it is the project management side
11 of thing, to go and do. We really have to put some
12 aggressive timelines on these things to go make them happen,
13 and go make people -- we do not have the luxury of sitting
14 around and waiting. I think Gerhard's slide, if I saw
15 anything that really tells us that, if you are trying to get
16 to 2050, you have got to start now. You have to start now.
17 It is the power of -- so really, in one respect it is go do
18 and really put some aggressive timelines on these that, you
19 know, other industries put, you know, if not done by
20 December 1st, you are going to start paying us, those sort of
21 things, and I know that probably worries people, and I am
22 not suggesting it happen, but I am saying maybe those are
23 the type of situations that we have to start putting out
24 there. In the same vein, that means it calls -- I will say
25 -- the OEM's bluff, right? If you are going to put that

1 much pressure on people to go execute the infrastructure
2 side of things, the cars have to be there. Right? If you
3 put out 40 stations and they all look very good and we are
4 sort of sitting around going, "Where is the infrastructure?"
5 And it comes, really, now you put pressure back on, in my
6 opinion, the OEM's to go start putting out product. So it
7 is a little bit of a balancing show. Where I know there is
8 a lot of good work that has been done, but we really need to
9 balance the two carrots and sticks along the way, near term,
10 to go execute it. So, again, it is somewhat vague in the
11 respect of how do we do it, but I think we need to go do it.
12 We need more examples under our belts to say, "Hey, you know
13 what? Clean energy LAX took five months." And you know,
14 what, to be honest, it probably took too long. It took me a
15 month and a half to get the inspector to sign off on it, on
16 an air compressor. So, I mean, and that is -- obviously,
17 you see my perspective, it is a lot different than others
18 who, you know, we are waiting for stations to a certain
19 degree, so to me it is really knuckling down and making some
20 of this stuff happen quickly, in constrained timelines.

21 MR. OLSON: Alex, this is Tim Olson. I wonder if
22 you could, along the lines of your comments, elaborate on --
23 it sounds like you have 50 Equinoxes in California now, and
24 are you willing to show us where your customers are located
25 to help us in the siting of the stations?

1 MR. KEROS: The honest truth, and I have said it,
2 and I am not going to speak on behalf of my counterparts, we
3 go where the stations are. The first 10-15 stations, while
4 I want a specific location, let's call it Santa Monica,
5 let's call it Airline Torrance, the ones that we put out
6 there in the Action Plan, those are real locations. But if
7 there ends up being a station in Burbank, I am going to take
8 advantage of it. It will get flushed out. So our customers
9 have moved around with stations. Before our LAX station
10 opened up the South Bay for ourselves and we went and
11 basically tackled some customers there. As Culver City
12 opens up, it basically makes Santa Monica and Culver City a
13 little bit more attractive to go do. So I have said it, I
14 will repeat it, I really think the next 10 stations are not
15 difficult ones. I put in Culver City based on location. I
16 put in LAX based on location. I put in Burbank based on
17 location. People go there, they use them, they like them.
18 We know LAX is a destination point and we know it is a good
19 middle area. It does not show up on a California Fuel Cell
20 Partnership Action Plan, but the fact of the matter is, some
21 of those destination points need to happen in support of
22 these clusters. People get in these cars and want to go.
23 It takes them about 24 hours, they use up one tank in 24
24 hours every time, we hand them the keys, they use up for us
25 about 200 miles, and then they come to us and go, "Hey,

1 there is a station out in Palm Springs, can I go out there?"
2 It is so quick. The people get in this car and they -- the
3 great thing about a fuel cell technology, you prevent some
4 of the range anxiety, and people get it. They take
5 advantage of it.

6 MR. OLSON: Maybe I can ask this question another
7 way. So are you saying that the existing stations set up
8 satisfy your customer demand?

9 MR. KEROS: We have developed a program to do
10 that.

11 MR. OLSON: And that is to move the stations?

12 MR. KEROS: That is because, yeah, I mean, like I
13 said, we put Culver City in because that made sense to us,
14 Burbank, we have people going around Burbank. If we put
15 something in Encino, I can tell you, my leadership will say,
16 "Hey, let's go out to Encino and make something happen over
17 there." It is certainly early on, in my opinion, we do not
18 have to be so exacting. It makes a lot of sense, we have
19 done a lot of coordination, and I certainly think there are
20 some early target areas in the Action Plan that are honest,
21 Torrance, Irvine, Irvine - Newport, same thing, Santa
22 Monica, all make sense. Burbank, to us, makes a lot of
23 sense, as well. They are our neighbors. So these early
24 stations, the good news is we do not need 200 stations to
25 make a good go of this. We really need probably 40-50. And

1 the funny thing is -- no, it is serendipitous -- but, you
2 know, our studies show 40-50 stations in LA, partnership
3 studies show 40-50 stations in LA, you give it a good go, it
4 really makes it happen.

5 MR. ELRICK: Can I comment on that, Tim? Because
6 I think that is a good question to ask all the OEM's, the
7 half dozen or so up here, and as Alex described, they are
8 all going to have their top preferences slightly different.
9 But what the action plan did was collectively put all their
10 input and thoughts together and said, "If we do this as a
11 group," and that was what it was all about, "...what locations
12 make the most sense?" So Alex points out Burbank which, in
13 our model, was one of the secondary up and coming
14 communities, because we recognized the importance there, but
15 the four in LA, also San Francisco and Sacramento, were
16 collectively where all of them said, "We can make it go in
17 these locations." So I think you should ask them, and
18 hopefully they will give you some details, but that is why
19 those four communities popped out in LA.

20 MR. OLSON: Yeah, I guess any information you are
21 willing to share with us, so, for example, if you are using
22 the mobile system moving around for your customers, how did
23 that work? If the station in Burbank -- is it used? Is it
24 not used? Do you have any customer complaints about it?
25 Those kind of things are of value to us.

1 MR. KEROS: Our mobile stations really were
2 designed to sort of be semi-permanent, to be honest, so when
3 we went and installed the equipment at LAX, Culver City,
4 even Burbank, really, when we call them "mobile," it is
5 probably not the air products with wheels attached to it,
6 they come more, you know, bring a flatbed truck and move
7 them. Again, we strategically located those because it made
8 sense along the 405 Corridor, that is what the industry made
9 sense, and likewise we wanted to open up target areas, the
10 LAX station sitting at 105, and the 105 and the 405, you can
11 go anywhere. So the answer to your question is, yeah, I
12 mean, we are certainly willing to share what we can in that
13 respect. Obviously, some of the work that I think UC Irvine
14 is looking at doing, and those sort of things, it really
15 starts to open up the customer perspective. But I can tell
16 you, the customer perspective is, "I want to get going."
17 You know, the second customer we had was -- the second day
18 he had the car, second customer, second day he had the car,
19 he was out rock climbing in Riverside.

20 MR. OLSON: Another comment on the -- so you have
21 your 50 Equinoxes, you are in your fifth generation, do you
22 anticipate any increase in that number in the timeframe we
23 are talking about that Bill presented in 2015? Are you
24 expanding that number in California?

25 MR. KEROS: No. Cars could move around, but

1 nothing significant. Ten to 15 cars here and there, but I
2 would not see an increase.

3 MR. OLSON: And, in essence, this is kind of a
4 refurbishment of the Equinoxes -- are you expecting a cost
5 reduction in that genre?

6 MR. KEROS: Absolutely, yeah. Cost reduction,
7 durability improvements, not at liberty to say, but
8 significant improvements in range and the fuel economy
9 associated with those.

10 MR. OLSON: Again, if you are more willing to talk
11 about details, we are very interested in that.

12 MR. KEROS: Understood.

13 MR. OLSON: Thank you.

14 MR. KEROS: Thanks.

15 MR. ELRICK: Thanks, Alex. Next up on the
16 schedule, Robert Bienenfeld from Honda, for the Honda
17 perspective.

18 MR. BIENENFIELD: Well, good morning, everybody.
19 And thanks for inviting Honda to present our hydrogen
20 program and infrastructure needs. I really appreciate this
21 opportunity. Here is one of our customers in the South Bay,
22 actually, in the Newport Beach Area, and we delivered in the
23 last few months. I think we are here because everyone
24 recognizes that hydrogen is a great choice, even with
25 whether it is fuel cell, electricity generated -- sorry,

1 fuel cell, hydrogen generated from electricity, or even with
2 methane steam reforming, it is quite efficient with zero,
3 tell by emissions. When we look at greenhouse gas emission
4 on a well to wheel basis, compared to a conventional mid-
5 size sedan, the clarity in California is -- there are two
6 numbers here, one is 68 percent reduction, the other is 74
7 percent reduction, and the 74 reduction represents SB 1505
8 conditions that one-third of the fuels generated with
9 renewables. So actually we are looking at a nearly 100 gram
10 per mile car in terms of CO₂ equivalent, which is tremendous
11 and even lower than some of the estimates for electric
12 vehicles.

13 Over the last seven years, we have been able to
14 effectively increase the power to volume ratio by a factor
15 of 4, and increase the power to weight by a factor of 5, and
16 the result is a very compact, efficient, and powerful fuel
17 cell stack. We are looking at the introduction step by
18 step, we are in the limited introduction to market phase,
19 with the period that we are in now, where we are looking at
20 improving durability and reliability, extending practical
21 range, and working on cost reduction, towards some mass
22 production stage in the near future.

23 As I said, our first customers have been delivered
24 already. We have got 10 customers so far, starting from
25 July of last year, so about a year. We have got a fuel cell

1 dealership network that is in place in Santa Monica,
2 Torrance, and Costa Mesa. They actually find the customers
3 and make all of the delivery arrangements, and are
4 responsible for the relationship with the customer. And we
5 have got some dedicated fuel cell production at our factory
6 in Japan.

7 So we think the fueling infrastructure, the
8 dealership network, all of these steps are important towards
9 realizing a fuel cell market. Everyone has talked about our
10 three target markets, which we concur on, in Santa Monica,
11 the South Bay, and the Costa Mesa - Irvine area. We have
12 actually taken our needs down to the street level, or cross
13 street, where we think we need infrastructure, and we are
14 trying to shift the paradigm from chasing infrastructure to
15 being more market driven. I mean, right now, we have tried
16 to find customers where there are stations, and we are
17 trying to move it the other way around so we can build some
18 momentum. Our idea for market driven infrastructure, I
19 think the industry has really coalesced around these ideas,
20 the cluster concept is to start with small communities,
21 identify the key streets, the highways, or between
22 communities and destinations like work centers, resorts, and
23 airports, and we need to develop clusters within those
24 communities. There has got to be redundancy and back-up
25 with primary about five minutes from the home, and back-up

1 less than 15 minutes. We think it is real important to have
2 a Marquis kind of station that is an image station, where we
3 can show people the potential, as well as the smaller back-
4 up community stations, they have all got to be retail
5 oriented for our consumers to find the refueling
6 infrastructure acceptable.

7 I think several people have mentioned that fuel
8 cells have been under attack. DOE had their funding cut,
9 and the auto industry has been facing financial trouble.
10 And even the CEC funding for hydrogen was under attack. We
11 think that the reason for that is there has been some
12 feeling that it is a zero sum gain and if hydrogen gets
13 money, then that is money not going towards some other
14 technology. But I think people are beginning to recognize,
15 as was shared by Gerhard, that in order to achieve our long
16 term goals for the state and certainly globally, we need all
17 the technologies that we can bring to the market, including
18 fuel cell. You cannot get there alone with just one
19 pathway. So I think, as a couple people have mentioned,
20 continuous long term support is crucial to the successful
21 deployment of fuel cell vehicles.

22 We have strong support for fuel cell, we have
23 gone, together with the industry, and met with Congress,
24 White House, the DOE, and that seems to be bearing fruit.
25 We think that funding is going to be restored. Our Clarity

1 Program is functioning well and surpassing expectations. We
2 have had to slow down some volumes to match infrastructure
3 deployment uncertainties, and certainly global economic
4 challenges and other challenges, as well. It is early in
5 the infrastructure building phase, there have been long
6 delays between contract award and station opening. Even
7 CEC's aggressive action to open stations could take another
8 year or two, and station openings often include ramp-up
9 issues, so that after the press conference, you are not
10 really open for routine business. There is a learning stage
11 in making sure that all the bugs have been shaken out.

12 And there is also an issue of the leadership and
13 commitment in the partnerships that are developing these
14 stations. We have had, in some cases, weak or uncertain
15 partners at the retail, distributor, or energy partner
16 level, and yet strong interest, of course, from equipment
17 providers who want to sell equipment, the public funders
18 like CEC or ARB that want to develop the stations, and
19 certainly the OEM's that have a compelling interest in
20 launching the stations. So we need to think about ways to
21 kind of equalize the interest of all the parties involved.

22 We understand from discussions with CEC about our
23 infrastructure needs that there is a challenge here,
24 everyone is afraid of building infrastructure that is not
25 used, and I think the OEM's are concerned about making

1 public commitments about volumes that may change as
2 technological issues arise, or other barriers come up. And
3 we have got a small proposal here, and that is, to reduce
4 the risk of stranded investments, and to increase certainty,
5 that what we could do is come up with a number, and my
6 proposal here is something like 25 customers per location,
7 to say, "Here is a market where we think we can bring 25
8 cars in a certain timeframe, let's say 18-24 months, from
9 station development." This would give the investors like
10 CEC an opportunity to focus on a location where they know
11 that vehicles are going to materialize. And you have got
12 the risk of stranded investment lowered, and the incentive
13 that you are providing goes to the infrastructure, not
14 directly to any OEM, or to any consumer. And, in fact, on a
15 per vehicle basis, you kind of start off with a high cost
16 per user, in this case, I am thinking 25 customers for many
17 a \$2 million station, is something like \$80,000 per
18 customer, but it declines over time as you backfill and find
19 other OEM's who are going to market in that area with their
20 own vehicles, so that more vehicles show up and the
21 effective cost per vehicle goes down. We think that that
22 might be a good compromise from asking every OEM to commit
23 to a specific volume for each year. This way, we could
24 focus just on the gaps and start to grow the infrastructure
25 in a kind of a very careful and intelligent way. It is not

1 practical for the OEM's to share with each other where we
2 plan to market the vehicles, but we think we can do that
3 through the Fuel Cell Partnership, and I think the document
4 that they have shown is a result of that kind of thinking.
5 So this is to just take the Fuel Cell Partnership document
6 and make it a little bit more granular, so that you could
7 have more confidence in your station funding efforts. And
8 that is it.

9 MR. ELRICK: Thank you. Questions for Robert?

10 MR. OLSON: Thank you, Robert, very good
11 presentation there. I would like to ask you, in your
12 interactions with DOE, and your kind of urging to try to get
13 them back into this, are you -- I guess the question is, are
14 you interested in government investment, whether it is U.S.
15 DOE, or the California Energy Commission, or CARB, in
16 vehicle prototype, or advancing the technology as an
17 investment, as incentive investment?

18 MR. BIENENFIELD: Could you rephrase the question?

19 MR. OLSON: I will give you kind of a frame of
20 reference. This may not be completely applicable, but we
21 have set aside a pretty significant chunk of money for
22 advancing technology in a couple of areas, hybrid electric
23 technology, non-petroleum platforms, in the medium
24 duty/heavy duty area, and in fact, hydrogen would be one of
25 those candidates for maybe a bus technology, and it is

1 really pushing the technology to the next level, and with
2 some of the medium and heavy duty, the costs may be in the
3 range of -- from our investment -- in the range of \$3
4 million per prototype demo. Is there a need for that in the
5 passenger vehicle area, in this case in hydrogen?

6 MR. BIENENFIELD: Yeah, I think it is a great
7 question, and what I would say is that, in the volumes that
8 we are doing now, which are I would say not as limited as
9 prototypes, but certainly a lot less than any mass
10 production volume, the costs have been borne by the OEM's, I
11 think without substantial incentives. I cannot speak for
12 the industry, but from our viewpoint, at this level, we do
13 not think we need incentives for the vehicles. The
14 challenge comes in I think the next step up in volume, so in
15 the kinds of volumes we are talking about, through 2014,
16 probably not. But when we get to a step up in trying to
17 cross the Valley of Death, I think we are going to have to
18 really think a little bit more creatively because the
19 challenges there can be enormous, even for large companies.
20 So I do not think we have come down firmly on that specific
21 issue, but I would say for the near term not such a big
22 problem.

23 MR. OLSON: I have another question about your
24 manufacturing. Do you make any of your components in
25 California?

1 MR. BIENENFIELD: Yeah, the tank is made here.

2 MR. OLSON: That is something I think we would
3 like to talk to you more about, just from the -- another
4 initiative we have is we are about to announce is this
5 manufacturing plant located in California, an incentive
6 program that would be targeted for components -- batteries,
7 whole vehicles, and we have got quite a few companies that
8 are interested in this. The point of it is, some part of
9 that is in California, that means more jobs here.

10 MR. BIENENFIELD: Absolutely, and we would
11 certainly like to have you be in touch with our supplier on
12 that.

13 MR. OLSON: I also wanted to thank you for your
14 frank discussions not only in the public meetings, but also
15 in our private meetings about where your company is going
16 and how we can make this work with our program here.

17 MR. BIENENFIELD: Sure.

18 MR. WARD: Robert, again, thank you for your
19 presentation. It was very clear and to the point. I did
20 have one question. You had a reference in one of your
21 slides that said 80 and 20, and I do not think you hit on
22 it, but I would like to know what that refers to.

23 MR. BIENENFIELD: Oh, I am sorry. That should be
24 80 and 50. It is a little too aggressive. Sorry. Thanks
25 for picking that up.

1 MR. WARD: And I will get to the question that I
2 posed to Alex, as well to you. How do we reach out and have
3 you folks from the auto companies help us in reaching out to
4 the energy side of this, to make sure that we can plan not
5 just for the future, you mentioned CEC as an investor, and
6 how do we get to the point where we can back out our
7 investments in this? I think it is politically
8 unsustainable, as we all can appreciate, this cannot go on
9 forever, so we would like to really enlist your support to
10 help us with the energy companies, the fuel providers, how
11 can we make this a business proposition going forward in a
12 balanced way? And you had one question, how to equalize the
13 interest of all parties, and I think that is the crux of the
14 issue. Apparently there is not the same interest on the
15 energy side as there is on the OEM side, and so that is
16 something we would like to get to. I do appreciate your
17 willingness to kind of slightly alter your needs as
18 infrastructure is rolling out, and I like the idea of
19 focusing your vehicles where the stations do exist now, it
20 is a practical reality and I think it is one that is really
21 helpful. So, I just wound up, and now here is the pitch --
22 and how do you think we would employ the good offices of the
23 energy suppliers, the energy companies, in general, the
24 retail oil companies, in making this a more balanced
25 proposition going forward, and understanding that the public

1 funding of these stations is not tenable or sustainable for
2 the long term?

3 MR. BIENENFIELD: Well, I do think that you are an
4 important investor in making this market happen in the near
5 term, and I would say that, you know, I heard you use the
6 language of "making a business case" when you talked to
7 Alex, and I think that, between now and 2015, 2018, I do not
8 think there is a business case, I think you are in the
9 investing phase, and you are enabling the future of a
10 business case, I just do not think it is here in the near
11 term. How to create greater interest on the part of some
12 energy companies, I think there are some policy ideas that
13 could be explored. I think what Gerhard showed earlier
14 about kind of the ways in which you may or may not get
15 credit for making an effort like this in your LCFS
16 requirement, for example, there is an opportunity where the
17 energy companies are under enormous pressure to comply with
18 LCFS, maybe there are some ways of generating incentives or
19 credits for participating early in these kinds or programs.
20 But I am not an expert on that, but it just strikes me as an
21 obvious place to start.

22 MR. WARD: Great. I am not denying that we have a
23 role now to help with this at all, I am just trying to look
24 out in the five year to 10 year horizon to see, you know, we
25 are going to have to get to that point someday, and the

1 sooner we think about it, the better off we will be, and you
2 mentioned also thinking and investing creatively. I think
3 that is really everybody putting their thinking hats on here
4 to see what are the best mixes of regulations and incentives
5 and continued -- and introducing private support for these
6 things because it is going to have to come in at some point,
7 and so I guess I am asking that you would be willing to
8 shoulder some of that effort with us in a cooperative way.

9 MR. BIENENFIELD: Sure, absolutely.

10 MR. WARD: You always have been, I fully expected
11 that answer was yes, and so I look forward to a continued
12 cooperation you have shown to us in the future, that is, I
13 think that is kind of the crux on where we need to get to,
14 whether it is in five years or 10 years from now, I think we
15 have to be able to back out of our investments and make sure
16 these things are viable, and so that everybody has a vested
17 interest. You folks have one now for regulation, perhaps
18 the energy companies will be having a vested interest
19 through other means, as well, in the future. We will leave
20 that open at this point.

21 MR. BIENENFIELD: Absolutely.

22 MR. ELRICK: Other questions for Robert?

23 MR. BIENENFIELD: Thank you very much.

24 MR. ELRICK: Next on the agenda from Toyota, Mr.
25 Justin Ward.

1 MR. WARD: Great, thanks. All right, good
2 morning, everyone. Thanks for giving Toyota this
3 opportunity to come here and share some information with
4 you. This is kind of -- I am going to give a summary of our
5 progress and our challenges in our fuel cell development
6 program over the past few years. I have a bunch of slides,
7 so I think I am going to be competing with Alex on talking
8 speed, but feel free to interrupt me at any time to slow me
9 down or try to get some more information on these slides.

10 First off, I am just going to start by comparing
11 electricity and hydrogen because we get asked that a lot,
12 how do we feel these technologies play together. One thing
13 we like to show, and it is a slide maybe everybody sees, is
14 the volumetric energy density comparison, you know, when you
15 look at energy density from a volumetric standpoint, for
16 lithium-ion batteries, you can see as they compare with
17 hydrogen, hydrogen does have a much higher volumetric energy
18 density, but both are far lower than conventional fuels like
19 gasoline and diesel, so there are challenges for these
20 alternative fuels to really be able to provide a suitable
21 alternative for the customers. We think have shown, I
22 think, through our latest vehicle that we can achieve the
23 quick charge, long cruising range, through our hydrogen
24 technologies, through our fuel cell vehicle, but that is
25 going to be a very hard target to reach for the current

1 generation of lithium-ion batteries, and even the next few
2 generations of lithium-ion batteries.

3 The next comparison is where to fuel cell vehicles
4 and batteries compare when it comes to range. And so, what
5 this chart shows is, if you look at battery mass or volume,
6 compared to range, that you need to -- that the battery mass
7 or volume, you need to have a certain range. We have our
8 RAV4 EV that uses a nickel-metal hydride pack on that solid
9 green line, you can see there that if you want to get a 300-
10 mile range, a practical 300-mile range, not a test cycle
11 range, but a real 300-mile range, it is going to be pretty
12 hard to achieve with a nickel-metal hydride pack that we use
13 in the RAV4. If we look at lithium-ion batteries today, and
14 we look at technologies for lithium-ion that are not out
15 yet, but may be out in the next few years, you can get to
16 that dotted line. Looking at that dotted line, you may be
17 able to touch on the 300-mile range, but your mass and your
18 volume is 2, 3, 4, times that of what we are able to do
19 today with our SCHV system, this includes both the fuel cell
20 and the hydrogen storage system.

21 So this is just kind of to give you a sense of
22 where those technologies are in comparison to each other.
23 Now, that usually leads people to think we are very negative
24 about EV's and I get hammered all the time on the blogs
25 about our position on EV's, but the reality is, we do think

1 that EV's are going to be part of the market, and they are
2 going to be in that short-range, small commuters. And the
3 people that cannot afford to have a second car, maybe they
4 are going to move more towards the plug-in that is using a
5 biofuel, but we do think a big part of the market is going
6 to be managed by the fuel cell vehicles, specifically the
7 large to mid-size passenger cars, as well as buses, that we
8 saw earlier today, and then we will hear about later this
9 afternoon. So we do think that fuel cells are going to be
10 kind of the key, one of key players for a future sustainable
11 transportation system.

12 This is a comparison of total efficiency. Here is
13 another one that gets me in a lot of fun. This one shows
14 the well to wheel efficiency, and you can see here that the
15 fuel cell vehicle has a pretty big advantage compared to
16 some of the other technologies. Of course, when you look at
17 some of these assumptions, you can see we have for hydrogen
18 production efficiency 67 percent, this is membrane
19 separation in combination with SMR. For natural gas, we
20 have 39 percent, and that has to do -- it seems low, but
21 when you consider combined cycle and transmission losses,
22 and local losses, it is not so off numbers, it is relatively
23 close. But you can see the big benefit from both of those
24 technologies come from the vehicle side of efficiency it is
25 enormous, it is very very high compared to even our Prius

1 that we sell today. So one of the takeaways from the slide
2 is do not look at it as picking a winner because, as I
3 showed before, we actually think that there is going to be
4 these technologies that live together to really fit a
5 sustainable transportation system, and really what this
6 slide shows is, although the fuel cell vehicle has a big
7 advantage here, the reality is it is going to be fuel cells,
8 electric vehicles, and hybrid technologies, maybe through
9 plug-in technologies that really do form the pathway for a
10 sustainable transportation system.

11 This is the evolution of our FCHV. We were the
12 first to lease these in Japan and the United States in
13 December of 2002. I think we might have beat Robert by
14 about an hour and a half. But pretty much we are really
15 happy about getting those vehicles out and, since then, we
16 have made lots and lots of changes similar to what Alex had
17 mentioned earlier today, you know, it is really an
18 evolutionary process with these vehicles, and what we have
19 experienced lately is very exciting for us, and hopefully
20 out in the industry they find excitement, as well. But our
21 current FCHV, the FCHV-adv, we wanted to add some more
22 letters to that, it stands for Advanced, that vehicle
23 currently has demonstrated cool start up capability to below
24 minus 30 and it has a range far exceeding 300 miles. So we
25 are really excited about those key criteria which were

1 unsolvable back in 2002. We now feel we have good solutions
2 for those.

3 There are two remaining technical challenges that
4 we have not been able to meet yet, but we feel we are
5 getting very close, that is our stacker ability and our cost
6 reduction. On this timeline, you can see that 2015 that has
7 been mentioned a few times, this particular 2015 slide came
8 from the SECJ Conference, I forget what that stands for, but
9 I think it is defined later, and basically we got the
10 automakers and energy and government together and we talked
11 about where technology was, the timeline for development of
12 these technologies, and we tried to find out when will all
13 these technologies intersect to when commercialization can
14 happen, and in Japan that number was 2015. When we looked
15 at the United States and we tried to have these similar type
16 discussions through the California Fuel Cell Partnership,
17 and that 2015 number still looks reasonable, but it is not
18 going to be across the entire U.S., it is going to be
19 impossible to try to get stations across the entire U.S.
20 But when we looked at cluster-based deployments, there is
21 some feasibility to do cluster-based deployments by the 2015
22 timeframe.

23 Here is specs for our latest fuel cell car, this
24 is a picture of the Japanese model, you can tell by the
25 steering wheel being on the wrong side in that little mirror

1 there. The key takeaway from this slide is that, if you
2 look at the LA four-drive cycle, our total range is about
3 455 miles, and our fuel economy on that drive cycle is about
4 72.4 miles per kilogram, or miles per gallon equivalent. So
5 we are pretty happy about that achievement. Early last
6 year, we actually were approached by the DOE, they really
7 wanted us to prove that the car could actually do it, and
8 that it was not just some kind of gimmick we were trying to
9 play with everybody, and so they asked us to do a real world
10 evaluation of our car. So it took us a long time to figure
11 out what route we would want to use, and get the contracts
12 and everything set up, but we ended up on this route which
13 includes about a 50 percent mix of freeway and city drives,
14 and the total length was about 330 miles and, during this
15 drive, we had representatives from NREL and SRNL actually in
16 the cars with the drivers to make sure we were not gaming or
17 hyper-miling, or doing any kind of weird driving techniques.
18 And following the flow of traffic along this entire route,
19 we were able to achieve a fuel economy of 68.3 miles per kg,
20 which if you do the math comes out to a range of about 431
21 miles. So very very impressive numbers. I think everyone
22 who was involved with this was very happy with the results.

23 This imagine, maybe many of you have seen already,
24 this shows the minus 37 start-up that we had done with our
25 cold testing a few years ago. The picture in yellow is

1 actually kind of funny, that is actually below minus 37, it
2 is a little under minus 40, but that was actually a PR shot,
3 so we did not actually have the data to show, but the
4 reality is the car can perform, even in temperatures below
5 minus 40. And if you do not believe me, you can ask Jared
6 Farnsworth, he is our engineer in Sacramento. He is the one
7 that is lying in the snow to take this picture.

8 So cost reduction is one of the big things I think
9 that a lot of people talk about with fuel cell technologies,
10 so there are a lot of naysayers out there that we cannot get
11 the cost down. And this is a cost reduction curve that we
12 showed maybe as early as 2002, and from that point, we were
13 showing, okay, well, starting at that vehicle cost, we
14 really need to drop the cost by 1/100th. And we know that we
15 can drop the cost one-tenth through mass production just
16 normally, we know that we can experience that through mass
17 production. So, really, the key is how do we get that
18 initial one-tenth cost reduction down from these first
19 generation vehicles years ago? And there are a lot of
20 people out there that say we cannot do it, well, I can
21 report to you today that we can do it, we are doing it, and
22 in some cases, we are ahead of target on our cost reduction
23 curves. We think that, by the 2015 timeframe, we will be
24 able to meet all of our cost reduction targets, and be able
25 to get these vehicles out in a way that makes sense.

1 How are we going to do that? One way is through
2 simplification, through the fuel cell system, hydrogen
3 storage system, simplifying the stack, downsizing, down-
4 weighting, reducing the platinum amount. Alex at GM showed
5 the great image of their latest generation stuff, I think we
6 are all really working hard to get those kind of same
7 achievements. Materials, you know, making sure that the
8 materials we choose make sense and that they are a lower
9 cost. And then mass production technologies.

10 These are intended to be videos, but they are not
11 going to play, but I can show you guys afterwards if you are
12 really interested to see it, but what these videos are
13 showing is what we have done to improve manufacturing. The
14 web handling on the left-hand side, when it was originally
15 flowing, it transfers -- basically, it is a thin film
16 transfer system, it transfers then films about 50 meters per
17 minute, that is not good enough if you want to do real mass
18 production, so what we have done is we have improved that to
19 over 180 meters per minute. On the right-hand side on the
20 very top are fuel cell stacking machine, I guess you want to
21 call it, and basically in the past the stacks were actually
22 lined up by hand, there was some guy who literally stood
23 there and dropped them down. Now, we actually do this
24 through a machine, and the machine, of course, has much
25 better accuracy, much better reliability, and we know we

1 always get the same product. And then the last one is the
2 tank wrapping machine, and I wish this video worked because
3 that is one of my favorite ones. The machine that you see
4 here is the state-of-the-art machine that we had bought from
5 an external company outside of Toyota, it is the best
6 machine money could buy for tank wrapping. And it is a
7 great machine, good results, but our guys hated it from the
8 very get go, we hated it, it was so slow. It does not fit
9 any kind of mass production scheme, so we started trying to
10 work with the manufacturer to improve the design, but they
11 were not willing to work with us. So we decided to make our
12 own tank wrapping machine, and later I will show you, but
13 our own tank wrapping machine actually increased the speed
14 six times compared to this state-of-the-art machine, and not
15 only did we increase it six times, but our project
16 variability was way way decreased, so much improved compared
17 to the original product, and our consistency was much much
18 better. So we made huge huge progress in that, and we think
19 that we only hit kind of the very beginnings of the
20 improvements we can make on all of these technologies.

21 So how do we get to fuel cell mass market
22 introduction, which is what we are here to talk about? And
23 really, we need to make sure that we get some kind of
24 benefit for every stakeholder. The vehicles need to be able
25 to come out in a cost manner that makes some sense, the

1 energy providers need to get some kind of benefit, and most
2 importantly, the customers need to have some kind of benefit
3 without a proper balance of these key stakeholders, then
4 what are we doing? So I think that is the challenge in
5 moving forward.

6 There are many ways from an infrastructure
7 pathways point of view that you can have a direct impact on
8 that. But when we look at infrastructure, we want to make
9 sure that we are always considering it from the right
10 timing, right place, and right methods. We use that tag
11 line a lot, in a lot of our materials, and it is really key
12 not just for the vehicles, bringing the vehicles at the
13 right time, right place, and right method, but also hydrogen
14 infrastructure. Does it make sense if you have a small
15 cluster to put in a huge network, a large station, you know,
16 rip up the roads and put hundreds of miles of pipeline, if
17 you have four customers in this one location. Can they be
18 better suited with a mobile or some other application? And,
19 for example, you do not want the opposite, you do not want a
20 very small station with a whole bunch of customers, or you
21 end up in situations where you cannot provide fueling when
22 the customers need it.

23 This is breakdown of hydrogen cost, just as an
24 example. This is the hydrogen station that was built in the
25 Aichi Expo a few years ago, and this just kind of gives

1 people a sense of the difference in costs, when you look at
2 the average cost of a gas station, to build gas stations on
3 the order of about a million dollars. This is Japan, so
4 maybe the numbers are little bit different. But you can see
5 orders of magnitude do not change so much. And then you
6 look at the building of the hydrogen station, this
7 particular 35 mega station was \$2.9 million, so you can see
8 there is a big difference between these two technologies.
9 And we need to work to make sure we can reduce that hydrogen
10 station cost. And hopefully we are going to hear a lot
11 about that this afternoon through those presentations.

12 This is just a little bit of a snapshot of the
13 FCCJ and there is the definition -- Fuel Cell
14 Commercialization Conference of Japan. And this kind of
15 goes over how we feel the station and vehicles are going to
16 have to roll out to meet that 2015 bogey. Looking at this
17 kind of technology demonstration, kind of market
18 preparation, early commercialization, and then full
19 commercialization, you can see that the vehicle ramp is
20 going to be relatively smooth, but the station ramp is going
21 to be more of a step function, it is going to look more as a
22 step function. And according to this FCCJ Plan, you can see
23 in the 2010-2011 timeframe, there is a big increase in the
24 hydrogen stations, and that is really kind of preparing the
25 next phase of the market to get the customers more readily

1 to accept that technology. And then you see this additional
2 big ramp in the 2015 timeframe, again, and that is really
3 needed there to really kind of get that early commercial
4 market up and ready. So in this early stage, there is going
5 to be this kind of a period of, you know, with a station
6 construction, maybe it is sped up, or there is a larger need
7 for a station. But as we move in that commercial time, you
8 will see that they will kind of grow in unison with the
9 vehicle numbers. This may be easier just to see than it is
10 to explain.

11 So in summary, fuel cell vehicles really are more
12 suited for longer range and larger vehicle applications
13 compared to electric vehicles, although electric vehicles
14 are well-suited for short range commuter use. Toyota FCHV
15 technology has been moving forward every year, every day,
16 and now getting a range of well over 300 miles, and being
17 able to start well under minus 30, which are key criteria
18 that were not possible only a few years ago. Towards the
19 2015 target of large scale fuel cell vehicle introduction,
20 we are really maximizing our effort now to address cost and
21 durability improvements. We are pretty close on both of
22 those, but we still need some time to dot the last few I's
23 and cross the last few T's. And then, conditions for mass
24 market introduction, really, we need low cost, easy access
25 hydrogen supply network is a must, it is not a wish anymore,

1 it has to happen, or it is not going to happen. And then,
2 further technical development and study of profitable
3 business models for hydrogen supply networks, so maybe I am
4 hopefully beating Peter to this question, and then a variety
5 of governmental incentives are critical to form initial
6 markets being on the 2015-2020. When we look at that
7 further technical development and study profitable business
8 models, I think one of the challenges we have is, when we
9 look at how to do hydrogen infrastructure, we all look at it
10 from our little paradigm and our experience, and I think the
11 challenge that we are going to place out through the
12 partnership and through our other efforts is to really start
13 to look at it outside of our own little paradigms, and maybe
14 we look at -- or maybe that forces us, or allows us to take
15 an approach we could normally not do. And I think through
16 efforts like at the Action Plan at the California Fuel Cell
17 Partnership, we can realize a similar study and maybe come
18 up with some very good and novel ways to find a profitable
19 business model for hydrogen supply network. So that is the
20 summary. Hopefully I did not run too long. If you have any
21 questions, I look forward to them.

22 MR. ELRICK: I would like to start off with a
23 question that I have not heard addressed yet, but from the
24 vehicle side, when you are planning for vehicle deployments,
25 how does the station -- obviously you need the stations

1 there beforehand, or you cannot deploy the vehicles because
2 they have nowhere to fuel -- but when you are planning on
3 from your end how long in advance do you need to see
4 stations so that they do not disrupt those plans?

5 MR. WARD: Yesterday is fine. No, the reality is
6 we -- depending on the model, for example, when we are
7 looking at fuel cell vehicle development, or when we are
8 looking at even conventional power train development, the
9 cycles can be anywhere from three to five years in the
10 planning stages. So if you are trying to set up your early
11 market vehicle in the 2015 timeframe, that means next year
12 you basically have to do all the planning, the preparation,
13 and the materials prep so that you can start that production
14 process or the design process to be able to implement
15 production by 2015. So if I am looking at putting vehicles
16 out in the 2015 timeframe, I really need to start to know
17 where stations are going to be now, or at least within the
18 next few months, so that I can make sure to line up the
19 vehicle production with the station production. That is the
20 ideal condition.

21 MR. ELRICK: Thank you. Other questions?

22 MR. OLSON: Tim Olson from the Energy Commission
23 staff here. Could you elaborate on how many vehicles you
24 have in California now?

25 MR. WARD: Right now, I think we just deployed

1 some on Friday, so I think we are up to seven or eight right
2 now, and the number will continue to grow. And if the CEC
3 wants to have our detailed numbers, then I would love to
4 schedule a meeting to discuss our detailed deployment plan.

5 MR. OLSON: Yes, we would like that. I guess one
6 other question is, can you give us a frame of reference on
7 what you mean by mass production? At what level of mass
8 production do you have to be to get that one-tenth cost
9 reduction that you noted on your slide?

10 MR. WARD: Yeah. When we refer to mass
11 production, we are just looking at typical volumes of
12 vehicle production, so consider any kind of low volume
13 vehicle -- what would be a good example of a low volume
14 vehicle these days? Most of ours are pretty high volume.
15 But looking at the tens of thousands of vehicles, you can
16 get significant cost reductions.

17 MR. OLSON: And are you doing any of your
18 manufacturing in California? Any component parts or any
19 part of your vehicle?

20 MR. WARD: For our current FCHV-adv, no. All the
21 components and the products are developed in Japan. But our
22 testing and evaluation is done based out of our California
23 office for North America.

24 MR. OLSON: I think we would like to take you up
25 on the offer, hopefully if you are available within the next

1 two to three weeks for a meeting.

2 MR. WARD: Oh, absolutely, no problem. I can meet
3 with you this afternoon if you really want to.

4 MR. PETER WARD: Thank you for your presentation.
5 There was one development you mentioned, your long range
6 capability with the vehicle has been enhanced. That is a
7 definite achievement. And can you tell me what effect that
8 has on the required stations and locations of those stations
9 as we go through the development phase here from now and for
10 the next five years? Are you meeting some of the needs from
11 the station standpoint?

12 MR. WARD: Not so much because we are still --
13 from our idea, the cluster-based approach really does make
14 the most sense, and we still need to have the home station,
15 and so the customers will still fill there. What we are
16 seeing now, that the customers have such a longer range, is
17 that, like Alex had mentioned, they are far more interested
18 now in filling up in far away stations, and so as we look at
19 these different applications, we may see maybe a stronger
20 need to enhance Burbank, or some other areas, that maybe we
21 would not normally have been real strongly pushing. But
22 right now, the data shows that the customers are just very
23 very happy to be able to not have to fill up every day.
24 They are very happy to be able to drive all week and only
25 have to fill up once, or every two weeks, and that seems to

1 be a big big benefit right now.

2 MR. PETER WARD: The other point you mentioned,
3 and I heard it loud and clear, is the low cost, easy access
4 hydrogen supply.

5 MR. WARD: Yeah.

6 MR. PETER WARD: Can you relate what activities
7 Toyota is undertaking in that regard to help us all pull
8 together in that very important area?

9 MR. WARD: Yes, actually -- unfortunately, I
10 cannot give too many details of what we are doing right now,
11 but we have been working for the past couple years now to
12 try to understand ways to develop new models, to realize a
13 low cost solution, and we are now getting some confidence
14 that our approach may work here in the United States, and so
15 we are slowly now walking it through different stakeholders,
16 we are going to talk to the partnership very soon to try to
17 get a better understanding if it is going to work here or
18 not, kind of the gut check. And if we get some confidence
19 it is going to work, then we are going to be most likely
20 handing that off to the partnership to run with it.

21 MR. PETER WARD: I would certainly like to hear
22 more about that, maybe in that meeting we are going to have
23 in the next few weeks about the roll out of new vehicles,
24 that would be an appropriate time to do that if you were
25 willing to.

1 MR. WARD: Absolutely, we would be more than
2 willing to do that then.

3 MR. PETER WARD: Further, you mentioned that there
4 is going to be further technological development and the
5 study of profitable business model in anticipation of the
6 question I was perhaps going to pose. I am happy to hear
7 that, obviously, and I think we all understand the reasons
8 for that is political, and sustainability, private
9 investment continually, so I am happy to hear and, if there
10 are initiatives that you folks are pursuing in that regard,
11 I would like to hear about any studies that you have
12 commissioned. As we are doing our Investment Plan, that is
13 important information for us to fold in, if possible, even
14 in early results.

15 MR. WARD: Okay.

16 MR. PETER WARD: Another mention you made was in
17 the 2015 to 2020 timeframe, public investment will be
18 needed. Our understanding was that it was needed now.

19 MR. WARD: Oh, yeah, it is needed now, so -- but
20 it is going to continue to be needed into that early
21 commercialization timeframe. I think that when you look at
22 the FCCJ infrastructure preparation, there is almost a stair
23 step function, and that is really the key -- you have the
24 stair step function now, and then you have it again
25 happening in the 2015, and those are kind of the key timings

1 that need to happen if we really want to realize a 2015 kind
2 of early commercialization.

3 MR. PETER WARD: And not putting you on the spot,
4 but I am asking more from a Toyota standpoint, do you really
5 believe that public investment is sustainable for the next
6 10 years in this infrastructure development phase, as the
7 principal investor in infrastructure that could be retail
8 under certain vehicles?

9 MR. WARD: Yeah, well, I think that when we look
10 at the infrastructure, and we look at how do we pay for
11 infrastructure, everyone needs to play some part, whether it
12 is through public funding, or private funding, or some
13 combination which probably makes the most sense, of a
14 balanced funding approach, and there are stakeholders and
15 there are industry members that are going to be profitable
16 in that industry when it exists, and so for them it could be
17 viewed more as an investment opportunity. So there is going
18 to be some balancing and harmonization that needs to happen.
19 Considering that, we think there is a sustainable model that
20 will get us through the next 10 years.

21 MR. PETER WARD: Okay, but I am saying, in view of
22 the fact that you folks are developing much of your
23 technology on your own, without public investment, or at
24 least within the large public investment that is required of
25 fuel stations, and so it is getting back to my question, how

1 do we reverse this trend that we are in right now, that
2 public investment is essential for this, and when I heard
3 that it was also going to be essential for 2015 to 2020, I
4 have to tell you, that took me aback. I really think that
5 if we are still in this model, public investment, a
6 principal investor in this infrastructure, I think we are in
7 deep trouble in 2015.

8 MR. WARD: Yeah, so it has to ramp down in that
9 case, not as a principal funding source. We need to know
10 how to ramp down in that same phase. But I do not think the
11 private industry is going to be self sufficient by then.

12 MR. PETER WARD: Thank you.

13 MR. MUENCH: Just a small one. Would you mind
14 going back to that slide, the pie-shaped kind of cost
15 breakdown? Oh, sorry, Tobias Muench, with Energy Commission
16 staff.

17 MR. WARD: If I could figure out how to work the
18 thing.

19 MR. MUENCH: Yeah, that one, thanks. I would be
20 interested maybe if people present at the panel here, maybe
21 Gerhard or Alex, people with experience with hydrogen
22 fueling station funding and construction, if they have
23 similar numbers, if it matches their experience, and even
24 other people in the room or this afternoon if we could talk
25 about that kind of data, I think that would be important

1 data for us to know more about -- if anyone wants to comment
2 or respond.

3 MR. ACHELNIK: The number, yeah, the total cost
4 for the station that shows on the slide matches what we have
5 experienced, and what we have sort of thrown in California,
6 too, is renewable requirement throws in an additional cost.
7 But we have started to collect individual breakdowns on the
8 different components, and it does vary, but it looks in line
9 with what we have found so far.

10 MR. KEROS: This is Alex from GM. Our stations
11 have been cheaper. The focus has been on quick and fast
12 deployment in some of these areas, so, you know, I actually
13 like this chart, Justin. I have not seen it before, and it
14 got me thinking, so I certainly would like to put together
15 something like this for our own cost scenarios. I think
16 there are ways to improve on at least that scale, again,
17 depending on what you are trying to execute. You know, if
18 it is 1,000 kilogram a day station, or 100 kilogram a day
19 station.

20 MR. WARD: And I think that is one of the
21 takeaways, too, from this slide. I mean, remember, this is
22 2005. Aichi Expo was not in 2005. So it is a little bit on
23 the older side, this data. And we are talking about 96
24 vehicles a day fueling, so it is a relatively high capacity
25 station. But, you know, there has been lots and lots of

1 progress on the station side since 2005, and I think maybe
2 Ed Heydom or some of the others can comment on how accurate
3 this number is today considering technologies that are
4 available now.

5 MR. KEROS: And just to mention -- sorry to
6 interrupt, but we keep forgetting there is a positive
7 business model out there, it is sort of the guys in between
8 that are losing money on this deal, but a lot of these
9 suppliers are not necessarily losing money, so some of these
10 component providers are making a realistic profit across the
11 board, it is just we might not be seeing it sort of up front
12 for some of these station providers who are not even capable
13 of recovering some of their costs at this point.

14 MR. MUENCH: I think we would also be particularly
15 interested in which ones of these components provide the
16 greatest potential for cost savings. Maybe some of the
17 folks this afternoon could say some details of that.

18 MR. ELRICK: All right, thank you, Justin.

19 MR. WARD: Thank you.

20 MR. ELRICK: I look around and I see we have Lance
21 from Nissan on the schedule, but I do not believe he is here
22 today, so we can go to Todd Suckow from Hyundai/Kia.

23 MR. SUCKOW: Since I see our time is supposed to
24 expire for the morning session in one minute, what is the --

25 MS. BARODY: Do not worry about it, we will go

1 past noon.

2 MR. SUCKOW: Okay, so I will try to be brief,
3 though. Okay, again, my name is Todd Suckow. I am with
4 Hyundai/Kia. I wanted to give you a quick overview of where
5 we have come. We are a fairly relatively new player in the
6 fuel cell arena, I will kind of give you where we are and
7 what our current activities are, and a little brief touch
8 into where our future commercialization plans are.

9 Since 2000, we have come a long ways from
10 initially partnering with an outside vendor for the fuel
11 cell to internally developing our own, and through
12 activities with the partnership, and including the DOE
13 program, which are currently ongoing, as well as the MKE,
14 the Ministry of Knowledge Economy Program in Korea, we have
15 brought forth several different vehicles of different --
16 basically an evolution of our fuel cell fleet from concept
17 all the way up to small batches of vehicles.

18 Just an idea of where past and current, starting
19 with UTC fuel cell, all the way to the current 2007 -- old
20 technology -- internal stack, using powers such as lithium
21 polymer, as well as super capacitors. More on the more
22 recent developments, we have gone from carbon bipolar plates
23 to the middle bipolar plates on some of our newer vehicles,
24 and also expanding the ranges from current 186 miles on our
25 current DOE vehicles, all the way up to over 400 miles on

1 our Kia Borrego. Buses have also been evolving, as well,
2 going forward within the MKE program, starting at 160
3 Kilowatts and moving all the way to 200 Kilowatts,
4 maintaining the same range while we are decreasing the
5 amount of hydrogen stored on board.

6 In terms of evolution, we started fuel cell
7 development back in '99 to approximately a year ago, and it
8 was not until around 2002 we actually put fuel cells in the
9 vehicles, and the technology has been evolving to a point
10 where, around 2012, we are going to be -- we project about
11 greater than about 2 kilowatt per liter in our fuel cell
12 stacks. So, again, this shows you the range in fuel cell
13 stacks, the development and power density. Talking about
14 driving range, we did not publicize this, but we did also a
15 range, more of an internal range, a range test for our
16 vehicles immediately following the Borrego introduction at
17 the LA auto show, and we were able to drive from San
18 Francisco down to LA without refueling, and had roughly
19 about 75 miles left in the tank. So that just shows you
20 where we have come in terms of vehicle range.

21 Safety verification -- we have done various tests
22 in terms of safety and verification from side impacts, rear
23 crash, from all different -- basically on different
24 vehicles, mostly the Hyundai's and the Kias, and different
25 pressures within the tanks themselves.

1 Cold start-up, I know some of the automakers have
2 mentioned cold start-up capabilities. Ours is currently
3 around minus 20 degrees C, and we have done that and
4 demonstrated that on our internal stacks. I believe this
5 was done -- I think this was done -- I forget if this was
6 done in Minnesota, or not. I think it was. Durability --
7 another key step in the evolution of the fuel cell vehicle
8 deployment. We had a couple of data points, as well as a
9 few reference points, in showing how our stack has been
10 evolving in terms of meeting the durability goals set forth
11 by DOE, and relative points back in 2006 and 2008 where we
12 stand. Cost targets, probably the biggest -- another big
13 factor, in terms of the bottom line, I just wanted to get a
14 point out, and these are not necessarily a linear
15 progression, these are certain scenarios based on timing and
16 volumes. So in terms of the Hyundai Kia, where we are at
17 currently is somewhere between 1,700 and 600 cost per
18 system, cost per kilowatt, and again, there is a lot of
19 change. Justin showed their automatic stacking and we are
20 currently kind of using the semi-automatic approach of
21 getting the bite going on fully automatic of course would
22 reduce our costs, and again, mass production of the balance
23 of plant material. I also want to point out again some of
24 the goals set forth by Japan, as well as the United States
25 in certain time frames, in 2010, 2015, and 2020. A little

1 background, again, we were involved in the DOE program
2 within the United States, here in the California, Northern
3 California, Southern California, as well as Michigan,
4 deploying 33 vehicles, partnering with others -- our
5 technology partner is Chevron and UTC. In addition to the
6 U.S. Program, we also are participating in the Korean
7 Government Program, which is very similar to the U.S. DOE
8 Program, in which we have deployed 30 vehicles, and buses,
9 as well. And the vehicles we have deployed, again, at
10 various different technology levels or advancements as shown
11 in one of my further slides, and one of the big things in
12 this program is that the government, as well as other
13 industry partners, are developing stations throughout Korea,
14 mostly in the Seoul area, mostly through natural gas
15 reformation, and there is even a project using biogas north
16 of Seoul. So some of these program associations are
17 currently built, and five more are going to be built by the
18 end of the program, knowing that there is going to be use
19 for those stations afterwards.

20 Product strategies, this just gives you kind of an
21 evolutionary high level view of where we are at in terms of
22 back in 2000, we are figuring out this technology, which is
23 actually worth it, before it was what is the advantage of
24 fuel cells, and once we got beyond that and verified the
25 feasibility, again, we started to road test in 2004, began

1 prototype development that I showed you earlier, and then
2 targeting 2012 for a small scale production.

3 The next generation vehicle, the small serial
4 production, will be based off our next generation Tucson,
5 Hyundai Tucson vehicle, which is going to be on the market
6 in the U.S., I believe, next year, 100 Kilowatt stack of
7 metal plates, lithium polymer battery, 60 percent system
8 efficiency and -20 cold start-up capability. Again, this is
9 where we are putting all of our efforts in developing this
10 generation, this vehicle for the small serial production.
11 By "production," I am referring to hundreds to low thousands
12 in terms of vehicle production.

13 In terms of vehicle production for the next
14 generation vehicle, we are targeting two markets, mostly
15 Korea and the United States, and Northern and Southern
16 California, as shown, or as described in the California Fuel
17 Cell Partnership Plan. So we are working on -- I am working
18 on locations, identifying locations for stations that would
19 be best for our customers. So I welcome a meeting later and
20 we can talk further on discussing with a little more detail
21 on locations.

22 Finally, just to give you kind of the
23 commercialization, kind of a simple five-step program,
24 starting with step 1 through 5, and identifying we are kind
25 of in the step 2, step 3 program right now, and then step 4

1 is small serial production of our fourth generation vehicle,
2 and then scaling up after that. So I wanted to be brief
3 because I know we are running short on time, so that is all
4 I had.

5 But addressing your questions, can I start right
6 now? In terms of getting these infrastructure, I guess,
7 into a profitable state, I think earlier on I know we were
8 having difficulties right now in just getting the ability to
9 sell hydrogen as a fuel on a per kilogram basis, I think
10 that is the big -- in the immediate timeframe, I think that
11 is -- Bill maybe can speak to this a little better, but I
12 think it scared away some of the people that are interested
13 in investing in hydrogen initially because they did not see
14 developing -- selling hydrogen on a per vehicle, or on a per
15 fill basis, is not hard to understand, I guess, from their
16 perspective. Other things that I could think of is Robert's
17 idea of kind of guaranteeing the number of vehicles at a
18 certain site, or being based there, or as a home base, or in
19 a location where the customers would work, I think is a very
20 valid idea. I think those are the two big things that I can
21 see in moving away from the government fully funding the
22 vehicles. Again, if you can guarantee a necessary demand
23 for a station, I think you can get a lot more investment
24 into the stations by the investors. So any other questions?

25 MR. ELRICK: Questions following up how he has

1 anticipated some of the first ones?

2 MR. OLSON: Todd, this is Tim Olson. I would like
3 to -- do you have any investment from the Korean government,
4 similar to what we are hoping DOE will do?

5 MR. SUCKOW: Yeah, the Korean government has
6 invested from the MKE Program in the past and it is my
7 understanding they will be investing more into the future.
8 I do not know the extent of it, but there will be federal
9 monies from the Korean side going forward.

10 MR. OLSON: Very good. We look forward to talking
11 to you in more detail.

12 MR. SUCKOW: Thank you.

13 MR. WARD: You initially started out with a
14 Ballard stack. Is that right?

15 MR. SUCKOW: We started off with UTC as our
16 technology partner.

17 MR. WARD: Oh, I see.

18 MR. SUCKOW: So they developed some of the initial
19 stacks, as well as the stacks in our current fleet of
20 demonstration vehicles.

21 MR. WARD: So they are your stack provider now?

22 MR. SUCKOW: Well, through the end of the year, so
23 the program ends at the end of the year, and we have
24 vehicles, and we have demonstrated vehicles here in
25 Sacramento and Southern California with our own proprietary

1 technology unit. So we have both right now, but we are
2 going to be ending the DOE program by the end of the year.

3 MR. WARD: Going on to your own stack, then, your
4 own developed stack?

5 MR. SUCKOW: Yeah, like I said, we will continue
6 to develop that.

7 MR. WARD: Okay, on one of your slides you
8 mentioned the roll out as thousands in the 2010 to 2012 time
9 frame, and then I think there was also mention of tens of
10 thousands in that same time frame. Did I get that wrong?

11 MR. SUCKOW: Let's see here. I think what I
12 mentioned was in the fourth generation vehicle will be -- we
13 are targeting hundreds to low thousands of vehicles
14 produced.

15 MR. WARD: But as I mentioned, I think it was on
16 one of your slides that --

17 MR. SUCKOW: Oh, these are scenarios, sorry.
18 These are to try to put the cost numbers in perspective, so
19 at numbers, for example, in the '10 to '12 timeframe, tens
20 of thousands of vehicles, the cost numbers will be down
21 around \$180.00 per Kilowatt per system.

22 MR. WARD: Okay, so those are separate and
23 distinct scenarios.

24 MR. SUCKOW: Yeah, these are different scenarios
25 in terms of how we view material costs over time and based

1 on volume.

2 MR. WARD: Okay, and just to be clear, hundreds to
3 low thousands introduction vehicles is in your estimation
4 going to occur when?

5 MR. SUCKOW: Well, I mean, probably in 2012 is
6 when we are targeting.

7 MR. WARD: So you have a minimum of 100 and a
8 maximum of a thousand?

9 MR. SUCKOW: Yeah, somewhere around.

10 MR. WARD: We can have these discussion later, I
11 will not make it uncomfortable here at all. And was there
12 private investment in the Korean stations?

13 MR. SUCKOW: Yes. Yeah, there is a lot of -- the
14 exact numbers, I cannot say. My understanding, what they
15 have told me is that there is 50-50 cost share of the
16 stations in Korea between MKE, as well as the industrial
17 gases and SPG Chemical, and all the other -- I do not know
18 if anyone else here can comment, but that is what I have
19 been told.

20 MR. WARD: Well, that is helpful information. I
21 would like to learn more about that and I think there is
22 something we can learn from that and apply here in
23 California, and I look forward to discussing that further
24 with you. Thank you, Todd. Well done. Toby?

25 MR. MUENCH: Maybe just a side note or a question.

1 Ten stations, 30 vehicles seems very -- what is the strategy
2 behind it? Is it like funding, it is maybe geographical
3 reasons?

4 MR. SUCKOW: Well, part of it is anticipation
5 after this interesting period, so five of these stations
6 will be built by July of next year, and the program ends
7 next year, so the plan is the deployment of additional
8 vehicles that would be utilizing those stations. Right now,
9 they are using five stations and by the end of the program,
10 they will be using -- well, after the program, they will be
11 using all 10.

12 MR. MUENCH: So it is anticipation of more
13 vehicles.

14 MR. SUCKOW: Uh huh.

15 MR. MUENCH: Thank you.

16 MR. WARD: Thank you. Are those -- at what
17 pressure and at what cost were those stations, if you have
18 that information? If you do not, we will get it later, but
19 certainly this is obviously an example that we would like to
20 follow-up on.

21 MR. SUCKOW: I think both pressures.

22 MR. WARD: Oh, they are both pressures, okay.

23 MR. SUCKOW: Yeah, like I said, there may be other
24 people that may be able to answer the question better. My
25 understanding is they are both pressure.

1 MR. WARD: Okay, and the costs of the stations?
2 Any idea?

3 MR. SUCKOW: I cannot give you -- I do not know
4 that, but I should be able to find out, though.

5 MR. WARD: Yeah, I would appreciate that. Thank
6 you.

7 MR. ELRICK: Great. Thank you, Todd. On the
8 schedule now, Rosario Barretta from Daimler. Another
9 energetic speaker to give more of a conclusion on our light
10 duty session.

11 MS. BAROODY: Yeah, I am sorry we are going into
12 our lunch time. If you will bear with us, we will go
13 through this one more presentation and then we will take a
14 break and resume at 1:00.

15 MR. BARRETTA: So, hello everybody. Thank you
16 very much again to receive the opportunity to speak about
17 our fuel cell activities. My name is Rosario Barretta. I
18 am responsible for the fuel cell activities and fuel cell
19 corporation here in California.

20 Let me start with the overall slide which was
21 shown probably also from one of the other car manufacturers.
22 This is a portfolio of different technologies to ensure
23 sustainability. You see on the left the optimization of the
24 conventional power trains, and in the middle you see the
25 further increasing of efficiency for those combustion

1 engines, and on the right side you see the emission-free
2 driving which will be only covered through battery vehicles
3 and fuel cells.

4 So let's see here on this chart where the fuel
5 cell and the battery electric vehicles are located, you see
6 on the bottom the best efficiency is if you would use a
7 battery electric vehicle with just fuel pipe, 100 percent
8 renewable electricity. The fuel cell is a little bit worse
9 in efficiency if you use your renewable electricity, but the
10 better benefit on refueling, the time fueling and also the
11 range of the vehicle. And you see on the combustion engine
12 down on the right side, so they are regarding CO₂ emission
13 and also regarding well to wheel energy consumption worse
14 than the one I described before.

15 So this is a map of our vehicle operation. We
16 started to have a worldwide vehicle operation in 2002, so we
17 deployed more than 60 passenger vehicles and more than 36
18 buses and also sprinters. We collected more than 2.5
19 million miles in the last few years, and important for us
20 was to deploy those cars in the market to gain and to make
21 or collect data, experience, and to let flow those
22 experiences in further development, which we will show the
23 results in the next generation. Also important was to put
24 these cars and these vehicles in operation to build up a
25 certain amount of hydrogen infrastructure together with

1 other partners from the industry.

2 So this is a picture which shows you that Daimler
3 started already in '94 to build the first fuel cell
4 vehicles, which was the Necar 1, and since then we built
5 more than 20 vehicles. And then, in 2002 we introduced the
6 first pre-production series of fuel cell vehicles which was
7 the A Class and we are still running today. You see on the
8 left on the bottom the investment we have done in the last
9 15 years. We spent more than \$1.6 billion to make that
10 possible, to build up those vehicles to bring forward the
11 technology, and we reached -- we had achievements in two
12 passenger cars, light duty vehicles and buses, we have shown
13 the three star capability and we have shown the technology
14 could be operated in various geographical climate areas. So
15 the improved performance, stack life time and reliability,
16 and we reduced the weight and production cost.

17 This picture shows our road map to the
18 commercialized use of vehicles. I mean, as I said before,
19 we started to work in fuel cell technology in 1992, and we
20 are convinced, if we come to commercialize, fuel cell
21 technology is the best solution compared to the two days
22 combustion engine vehicles in that respect. So the first
23 generation which we have shown with the F-cell was the
24 technology demonstration. And I need to say also that the
25 passenger car has the [inaudible] [69:46] and the other, the

1 sprinter and the buses followed those projects. So the
2 second generation which will come by 2010, so early next
3 year, the purpose of this generation is to gain customer
4 acceptance and to build up also additional fuel hydrogen
5 infrastructure. So the aim of the third generation will be
6 the cost reduction, number one, and with introduction of
7 generation 4, which will be around 2015, we will have the
8 market introduction with cost of production 2. In 2020, we
9 will introduce the generation number 5, which will be
10 basically the mass production, and in that time the hydrogen
11 infrastructure should be available.

12 So this is a very nice picture that shows our
13 commitment from Daimler what we are doing. If you see in
14 the bottom of these charts, the A class, which we are still
15 in operation, the B class, which will start to be in
16 operation in 2010, and also already the involvement and
17 development of the further generation, so that means that we
18 are already doing our work, our homework, in order to bring
19 in 2015 the first cars to the market. Important also is
20 that, if we include today how many engineers are working on
21 the A class and B class technology, we have more than 500
22 engineers which are daily working in this operation.

23 Also very nice chart here on the left, again, the
24 picture I have shown before, the \$1.6 billion we have spent
25 in the last 15 years, and on the right side you see the

1 chart which shows you basically the major cost driver for
2 the technology is the build-up of vehicles. That means, in
3 other words, to make further -- to move with the technology,
4 you need to collect data, but the question is, you know, how
5 many cars you need to bring in order to go forward. So to
6 build up a small fleet like we are doing with the B class,
7 it costs us around \$400 million, so to make more experience,
8 and to bring the next generation would be enough to go less,
9 or to build up less number of vehicles, and so this is our
10 -- if you want, this is our effort, to show that it is
11 interesting, it is very important to us that we can build
12 here hydrogen infrastructure. So we bring the cars and we
13 need the infrastructure there.

14 So you see here, this is the two locations where
15 we have our fuel cell activities, we are based in Southern
16 California, in Long Beach, we also have an office and a
17 workshop in Northern California, but we will receive also
18 with deployment of the next vehicle support from our
19 Mercedes dealerships in different locations. Important to
20 say here is also that the most of the vehicles we will
21 deploy will be in the south in California and the LA area,
22 and we fully support the California fuel cell partnership
23 cluster hydrogen station, which will be built in the four
24 cluster in LA.

25 So this is the B class which we will introduce by

1 the beginning of next year. You see, this is a vehicle
2 platform which we use in Europe to -- we sell it with the
3 normal combustion engine. What we did was just to replace
4 the combustion engine with the fuel cell, and we had no
5 disadvantage in -- the truck is fully available, and so you
6 can see four to five persons in the car, so it is a car
7 which you can compete with a normal car with combustion
8 engine. So the car has undergone also in the safety
9 measures which all the Mercedes have to undergo in their
10 development. It is a very safe and a very nice vehicle and
11 if you see on the technical data on the right side, it is a
12 vehicle which can compete in every respect with a B class
13 combustion engine.

14 Some numbers, how many cars we are going to bring
15 here in the next years. The idea -- well, the plan is we
16 are going to build 200 cars and we will place the 200 cars
17 worldwide, and let's say up to 50 percent of them will be
18 deployed here in California between 2010 and 2011.

19 So what are the demand differences between the A
20 class and the B class? So we reduced the size stack by 40
21 percent, increased the power 30 percent, and consumption is
22 16 percent lower, even though the car is heavier, and the
23 range is increased by 150 percent. So beside that, we
24 increased the stack lifetime from 1,000 to 2,000 hours, and
25 the range from 160 Kilometers to 400 Kilometers.

1 This is a picture of the packaging, what it looks
2 like in the B class, so most of the technology you see is
3 underneath in the so-called sandwich bottom, you find the
4 tanks in the area where it is very safe, the fuel cell
5 stack, and some other components is in front of the bottom,
6 and parts like a module -- what do you call that part -- the
7 coolant? The cooling module, we have it here, the cooling
8 module is in front of the vehicle. So in the real part
9 under, or between the rear axle, we place the lithium ion
10 battery.

11 So this is the system, what are the main
12 differences to the A class? We have still the screw
13 compression, we changed the humidifier which will make it
14 possible to operate the vehicle at the -25 C, we increased
15 the power, and the system is in total higher efficient and
16 less complex than the one before.

17 So this is the last slide, I think. So the
18 achievement of the B class, the first year produced the
19 vehicle with the zero emission fuel cell drive. This
20 vehicle will have the same quality assurance process
21 employed for other vehicles at Daimler, and this vehicle
22 will be without any restriction regarding passenger luggage
23 space. And the F cell offers high driving performance
24 standards as standard two liters gasoline engines. So that
25 is ready for the customer for everyday use. So I am pretty

1 sure the B class is a milestone on the road of
2 conceptualization of fuel cell vehicles. And the last
3 comment from my side, if you help us to bring hydrogen
4 stations in this area, we will bring the fuel cell vehicles.
5 Thank you very much.

6 MR. ELRICK: Thank you, Rosario. Questions?

7 MR. WARD: Rosario, thank you very much for your
8 presentation. Well laid out and, as you mentioned, you
9 folks are very committed to the tune of \$1.6 billion over
10 time. That is quite commendable. I think that the
11 development that you folks have shown is truly remarkable
12 and you are a leader trying to bring this technology not
13 just to Germany and the rest of the world, but to
14 California, as well. And the roll-out of your vehicles is a
15 considerable number, and it seems to be a fairly large
16 number from what we have seen, 200 cars rolled out in the
17 2010-2011 timeframe, half of which are coming to California
18 -- up to half, you said?

19 MR. BARRETTA: Yeah, exactly. This is, I mean,
20 the last two or three weeks was the International Car
21 Exhibition in Germany, in Frankfurt, and so upper
22 management, they committed to these numbers -- 200 vehicles
23 will be the total number of vehicles for the B class and up
24 to 100 vehicles will be deployed here in California. And if
25 I say up to 200 vehicles, it means we make it also -- it

1 depends on the infrastructure. If we do not have sufficient
2 infrastructure, we are probably going to reduce the number
3 of vehicles, but the idea is to bring it up to 100 vehicles
4 here.

5 MR. WARD: In Germany, how many stations are you
6 planning on constructing to support 100 vehicles that you
7 would have there, or up to, or possibly over 100 vehicles
8 there?

9 MR. BARRETTA: That is a good question. I will
10 try to answer as good as possible, but I understood the next
11 one and a half years they are going to place around 15
12 hydrogen stations and, as you heard from weeks ago, there
13 was an MOU among Daimler and Linde, Shell, some other energy
14 providers in Germany, where they are trying to put together
15 a consortium to build up an infrastructure, so the first
16 task will be to build up the 15 stations, and then to go on
17 from there.

18 MR. WARD: Is Germany putting up funding for this,
19 as well?

20 MR. BARRETTA: Yes.

21 MR. WARD: Do you have a ratio of that? I know
22 you have many privates mentioned there, and I am honing in
23 on this because this is the type of model that we are trying
24 to replicate here in the United States, specifically here in
25 California, and I think the money is well placed if it is

1 seed money for private investment.

2 MR. BARRETTA: Yes, there is money, they are
3 providing money to build up the infrastructure. If I am not
4 wrong, it is 50 percent, but I can check that again for the
5 hydrogen station, and I think -- I am pretty sure they are
6 also providing funding for the vehicle, to build up the
7 vehicles.

8 MR. WARD: Are these going to be 700 bar or --

9 MR. BARRETTA: The station?

10 MR. WARD: Uh huh.

11 MR. BARRETTA: Yeah, I am pretty sure there will
12 be 700 and 350 bar.

13 MR. WARD: Okay, do you have any approximate costs
14 of those stations? I know it is projected right now, any
15 idea?

16 MR. BARRETTA: No, I mean, regarding this, I think
17 our partners from Linde, they can give you a much better
18 outlook on the situation regarding costs. I do not know. I
19 mean, I can say something in the number, I saw before,
20 around the \$2 million per station, this is what I heard, but
21 I do not have exactly number.

22 MR. WARD: Are your stations looking at the retail
23 environment, station?

24 MR. BARRETTA: Definitely. We are behind the
25 proposal from the California partnership and the number of

1 vehicles which I said today, that covers our part, which you
2 can see in the survey.

3 MR. WARD: Thank you again for you presentation.
4 I did take note of the agreement that you folks signed a
5 couple weeks ago. When we meet with you one on one, I would
6 like to learn more about that because the wording I was not
7 quite sure, a lot of the details of that, maybe you can fill
8 us in on that at a future time.

9 MR. BARRETTA: Definitely.

10 MR. WARD: I appreciate your presentation. Thank
11 you.

12 MS. BAROODY: Thank you. Well, before we go to
13 lunch, we have one WebEx question and I believe it is for
14 John Mough. So thank you very much for your speech.

15 MR. BARRETTA: Thank you.

16 MS. BAROODY: Okay, Pilar, if you would unmute the
17 WebEx. Go ahead, please identify yourself. Is she still
18 there?

19 MR. SMITH: I believe it is Nico Bowkamp. I might
20 be mispronouncing that. I believe I wrote it down. The
21 question to John Mough was, "Where will you do your hydrogen
22 station testing based on the budget you have developed for
23 hydrogen quality and dispenser testing?"

24 MR. MOUGH: Our station testing and the quality
25 testing will both be done out of our headquarters office

1 here in Sacramento. We also have a facility in Southern
2 California in Anaheim, but it is currently, it is a
3 laboratory facility and office space, and we do not have the
4 space to do any station testing there. So everything will
5 come up to our Sacramento office.

6 MR. SMITH: Thank you. I think that will answer
7 his question.

8 MS. BAROODY: Thank you. I just want to thank the
9 light duty panel for your participation this morning, and
10 sorry we had to go over lunch. So we have about 35 minutes
11 for lunch. And we have heavy duty at 1:00.

12 [Off the record at 12:29 p.m.]

13 [Back on the record at 1:10 p.m.]

14 MS. BAROODY: We want to get going with our Heavy
15 Duty Vehicle and Off-Road Applications Panel. I would like
16 to welcome Dr. Arnold Miller with the Vehicles Projects.

17 DR. MILLER: Thank you, Madam Chairwoman. Thank
18 you for the invitation and the opportunity to speak with you
19 today. What I would like to do is describe a project which
20 develops an application of fuel cell, hydrogen fuel cell
21 vehicles, which has a number of benefits as an early,
22 really, entry into such a market, over automobiles, which
23 you have heard about this morning. Cars have to be very
24 fast, beautiful, spacious, and cheap, finally, whereas
25 industrial vehicles, especially locomotives, do not have so

1 many constraints. They mainly have to make money for the
2 company that operates them. So this is the locomotive that
3 we have built, it is a switch locomotive, and it will be
4 arriving in Los Angeles next week to begin its demonstration
5 in Commerce, the City of Commerce Rail Yard owned by BNSF
6 Railway. This shows a rear view of it. This is a public
7 private partnership. BNSF is the private partner, private
8 funding source, and my company, Vehicle Projects, is the
9 technology developer, and then we have the US Army, two
10 logos here, the Corps of Engineers and the Defense Logistics
11 Agency is the provider of the funding. As cost shared
12 project, BNSF has put approximately half of the cost into
13 this project. It started in May of 2006.

14 Now, why fuel cell rail, in general? Well, it
15 marries the best features of conventional locomotives, that
16 is (inaudible) electric over electric locomotives, and
17 diesel locomotives, but avoids their disadvantages. For
18 example, it has the emissions characteristics of an electric
19 locomotive, but it has a much lower infrastructure cost,
20 which is similar to a diesel, and moreover, for rail, the
21 infrastructure is linear, it is a long railway, so it is
22 much simpler than for road vehicles, which have a two-
23 dimensional infrastructure. Now, if the primary energy is
24 renewable or nuclear, and it uses electrolysis water to
25 produce hydrogen, then you have no carbon in the energy

1 cycle, there is no CO₂ emissions or any other kind of
2 emissions in the vehicle's operation. And it is
3 significantly more efficient than an electric locomotive.
4 The electric ones, contrary to what you might think, are the
5 least efficient because you have to look at where you get
6 the electricity for them, and normally it is a co-fired
7 power plant, and so it is a heat engine, ultimately. The
8 diesels are a little more efficient than electric
9 locomotives and the fuel cell will be more efficient,
10 perhaps 10 percent, it is not going to be dramatic. That is
11 not the driving force, the driving force is lower emissions,
12 and you will see, lower fuel costs right now, or in the
13 future, as well. There are issues and I will discuss these
14 more. I will try to answer the questions of the Commission.
15 There is relatively high cost of fuel cells and, of course,
16 that is an issue for all fuel cell vehicles. Now, as we
17 will see in a minute, the fuel cell stacks that we use in
18 this vehicle are the same as the Ballard P5 stack modules,
19 which are used in the cube buses, the first generation, we
20 have about 2 million, my kilometers of operating experience.
21 Then you have entrenched competing technologies in fuels,
22 this is not a small issue, it is sort of an unspoken issue,
23 but it exists, and then hydrogen storage; among technical
24 issues, that is the most significant. The fuel cell itself
25 is mature technology.

1 Now why hybrid for our rail vehicle? Not all rail
2 vehicles, and certainly not all vehicles in general are
3 necessarily good as hybrids. I have written a paper, it is
4 in the Journal of Power Sources on this -- 2006 -- on which
5 rail vehicles make sense as hybrid, and this really tells
6 the story here, this is the duty cycle, the red curve is
7 power, and it is power vs. time. And at narrow peaks, they
8 go up to about 1.2 Megawatts, and then you have long periods
9 of idle, being idle in the rail yard. And even though you
10 have those high peaks, the average is only 75 Kilowatts.
11 This is over a huge amount of data. And so this is ideal as
12 a hybrid, it can be easily recharging the battery either
13 during this troughs or the outright idle periods, and then
14 when you need to go over these high peaks, the battery can
15 assist with that, and it is a parallel hybrid where the fuel
16 cell and the battery are additive in power.

17 This project has two specific objectives, one is
18 to demonstrate reduced noise and air pollution in urban rail
19 applications, including sea ports, and that will be
20 demonstrated starting in early October through December in
21 Los Angeles, and then, because you have a benign power
22 source, the fuel cell power plant, it opens a new
23 application for large fuel cell vehicles, and this is the
24 military interest, it is what is called power to grid, where
25 it can provide back-up power to military base or civilian

1 disaster relief efforts.

2 This shows the vehicle over a year ago under
3 construction. This is the battery rack, and this part --
4 this whole area here is the fuel cell power plant, and it
5 replaces what was originally a diesel gen-set. This started
6 life as a commercially available diesel battery hybrid, some
7 of which are operating, or did operate, anyway, at Port of
8 Long Beach, as diesels. This, of course, has no diesel
9 engine whatsoever, and there is no emissions whatever.

10 These are some of the specs -- it is 240 Kilowatts
11 continuous net power for the fuel cell prime mover, 70
12 Kilograms of hydrogen at 350 bar, and the hydrogen is carbon
13 fiber composite tanks, standard tanks that are used on
14 buses. Now, we have money already from the Department of
15 Defense to upgrade this, to go to a more advanced battery,
16 and then we will have six times more hydrogen storage, more
17 tanks, and it will be 700 bar rather than 350 bar. Then the
18 traction battery allows transients substantially above 1
19 Megawatt, probably closer to 2 Megawatts, and then this
20 technology is a lot lighter in weight than the diesel. So
21 you have to add ballasts because locomotives have fixed
22 operating weight and so we had to add 9,000 kilos of extra
23 ballasts to bring it up to its operating weight of 130
24 metric tons, or 287,000 pounds. Here it shows an expanded
25 view of it. This right here is the power plant. And we

1 developed all this, some of these components, as I
2 mentioned, the stacks, we purchased, we developed -- and the
3 hydrogen tanks -- but otherwise we developed it and we
4 designed it, and we are involved in the fabrication. BNSF
5 Railway actually fabricated it, including the power plant,
6 did almost all of the fabrication.

7 Okay, now, this shows it under tests. Right now,
8 it is still at a DOT Proving Grounds in Pueblo, Colorado, it
9 is operated by TTCI. Now, we are going to see a video here
10 of impact tests. It works better to run this from the
11 Windows Media Player, and Pilar has promised that she would
12 do this. It is a fairly large file. You can run it, Pilar.
13 The vehicle is not actually running when you see it here, it
14 is pushed, and allowed to coast into that consist that I
15 showed on the preceding -- on the PowerPoint slide. It does
16 not seem to be -- oh, yeah, there it is. I wonder why it is
17 not showing up. Well, maybe we will not see this. For some
18 reason it does not want to display, but it is running
19 somehow. Do you have any idea, Pilar? Because we had it
20 operating earlier, running off my memory stick, yeah. Ah,
21 okay, back to where we were. So maybe do it last. We will
22 do that at the end.

23 So in any case, this is a consist of three rail
24 cars that are loaded, they weigh 700,000 pounds altogether,
25 and the last car is braked, as well, so we have taken up to

1 5 mph, the video is at 3.8, but -- and that is with the fuel
2 cell operating. And there has been no problem. You have
3 well over 10 G's of force chalk load, and there has never
4 been any problem. We have had no problem whatsoever with
5 this vehicle. So if we could proceed now with the
6 PowerPoint?

7 Okay, thank you. There was a lot said about
8 refueling stations, and this is the one we have, it is
9 temporarily set up here at the proving grounds, this will go
10 to the City of Commerce yard and if there is interest in
11 this, I will explain how it works, but you can see it is
12 fairly small, and it is inexpensive, it was only \$150,000
13 for that entire refueling station. If you wanted to buy
14 something for automobiles, it would be a few million dollars
15 because it has to be very pretty and customer friendly, and
16 so forth. Now, here is where it will be. Here is the
17 Commerce -- or sometimes called the Sheila Yard, of BNSF,
18 and the refueling station will be right there. This is
19 where BNSF tests their new locomotives. And then it will go
20 also to the -- down here it says "to Hobart." There is a
21 yard not too far away that will be connected to, and it will
22 operate both between the yards and in both yards.

23 One of our important contractors is Air Products,
24 and they are providing the hydrogen presently in Southern
25 Colorado, and will be providing it here in Los Angeles. As

1 many of you know, they have a pipeline, red line in this
2 drawing, it serves seven gasoline refineries in Los Angeles,
3 built actually to serve eight, and the eighth one will be
4 coming online fairly soon. But it transports 400,000 kilos
5 per day of hydrogen at 55 bar pressure. The hydrogen is
6 produced at Wilmington, which is a very large hydrogen plant
7 dedicated to hydrogen in Carson Hydrogen Plants. But it is
8 26 Kilometers long and 6-10 inches in diameter, varies along
9 the length. Here are the results. The locomotive is
10 complete and has approximately 30 hours of operating time on
11 it. The operating interface is identical to conventional
12 locomotives, it is silent in the cab, which is eerie if you
13 have ever been in a diesel, a vibrating diesel locomotive.
14 And outside of the vehicle, beside the power compartment, it
15 is sufficiently quiet that you can carry on an unstrained
16 conversation. We have videos of it operating before it was
17 painted, that is why I did not bring them, but people -- it
18 is operating and people are standing on the walkway outside
19 and carrying on a conversation, and the video camera and
20 recording system picked up their conversation. So the
21 locomotive will arrive in Los Angeles in early October, it
22 will stay here until the end of the year, approximately.
23 Then, this is a quite positive result among others that we
24 will demonstrate as we go along, but if you would take
25 hydrogen from the Los Angeles pipeline, the energy cost

1 would be lower today than diesel, that is, it would be
2 between \$1.50 and \$2.00 per diesel gallon equivalent, there
3 is almost a 1:1 or almost identical energy content to a
4 kilogram of hydrogen and a gallon of diesel fuel. So that
5 would be the cost of a kilogram of hydrogen. And what we
6 like to do is, after this is demonstrated, it may go to the
7 Port of Long Beach, that has not been determined yet, but
8 that has certainly been a possibility we have been
9 considering for some time, but also operation at one of the
10 refineries, and taking the hydrogen from the pipeline would
11 be a nice adjunct to the demonstration of the vehicular
12 technology. I think that is the end of it. Do you want to
13 try to run it? So she is going to -- ah, okay. Very good.

14 MR. OLSON: While you are trying to set that up --

15 DR. MILLER: Sure, I will be happy to answer your
16 questions now.

17 MR. OLSON: Yeah, a question on -- I did not see
18 the front part of your presentation. Where is this cost-
19 wise in terms of this is a prototype demonstration? Where
20 would this go next in terms of development?

21 DR. MILLER: Well, it is going to be upgraded, I
22 mentioned that. We have actually two years of Department of
23 Defense funding to do that, so that will be a couple more
24 years, but it would be close to commercialization. This is
25 an experimental prototype and you have to go through several

1 prototypes to get it to a manufacturing level, but then you
2 would have to go through a manufacturing prototype -- okay,
3 I do not know if we have sound or not, apparently not, but
4 this shows it running into the 700,000 pound consist to test
5 its ability to withstand impact. But if you could hear
6 this, you would hear the crash and you would hear the track
7 noise, but actually in this particular one the fuel cell is
8 not operating, so --

9 MS. MAGANA: Do you want to show it again?

10 DR. MILLER: Yeah, let's show it again. Can you
11 make the sound operate?

12 MS. MAGANA: No.

13 DR. MILLER: So it is quite rugged. One nice
14 thing about locomotives is there is a good psychology
15 associated with them, of power and strength and durability,
16 which we just demonstrated here. So some people still think
17 fuel cells are appropriate for golf carts or something like
18 that, but they actually can power locomotives quite nicely.
19 I think we have finished the PowerPoint. I would be happy
20 to answer any questions of the Commission or anyone else.

21 MR. OLSON: Yeah, so I have another question on
22 the -- and maybe this is really addressed to the Air
23 Products, but when you said that the price of hydrogen --
24 the cost of hydrogen fuel was lower than diesel, do you have
25 anymore details on that?

1 DR. MILLER: Well, the reason for that is the cost
2 of hydrogen closely tracks the cost of natural gas, because
3 that is what it is made from, and that is cheaper because it
4 is a domestic product, rather than imported fossil fuel.

5 MR. OLSON: And they are making hydrogen for the
6 refinery, so --

7 DR. MILLER: Yes, exactly. Oh, they make it on a
8 massive scale, as you saw, 400,000 kilos a day. Now, the
9 price of gasoline and diesel fuel are not so high right now,
10 on the order of \$2.00 a gallon or a little bit more than
11 that, but if it goes back up to \$4.00 or \$5.00 a gallon,
12 then obviously this is going to be extremely attractive,
13 just for the price of fuel. And we would like to ultimately
14 make it from renewable or nuclear power, so you would not
15 have any greenhouse gas emissions, even in greenhouse gas
16 emissions, there is clearly no such emissions from the
17 vehicle, but if you make hydrogen from natural gas, you do
18 have CO₂, but it is a lot better -- a lot more CO₂ than you
19 would have for a straight chain hydrocarbon.

20 MR. OLSON: So in your last bullet there, so is
21 the price in the range of \$2.00 a kilogram?

22 DR. MILLER: That is correct. It is less,
23 actually. It is between \$1.50 and \$2.00 a kilogram at the
24 refinery.

25 MR. OLSON: Maybe we will hear more from Air

1 Products on that idea.

2 DR. MILLER: Yeah, it would be good to do that.
3 And we work with them fairly closely and, also, we would be
4 pleased to have the California Energy Commission to be an
5 observer at this project, or your delegate, or whoever you
6 would like, and come and witness this, and --

7 MR. OLSON: This is now at the rail yard in City
8 of Commerce?

9 DR. MILLER: Well, it will be. It will take about
10 a week, perhaps, for it to be transported out here, but it
11 is going to be finished with its testing in Colorado this
12 week, and then BNSF will transport it out to LA. They do
13 not -- it is not going to be Express delivery, so it may
14 take several days to get out here.

15 MR. OLSON: So, I am just curious, we have had a
16 lot of discussions with Burlington, Santa Fe, Union Pacific,
17 it had not really appeared to be any strong interest in
18 anything but diesel, and they had said they tried a lot of
19 different options, and is there a serious interest as a
20 follow-up to this?

21 DR. MILLER: Oh, absolutely. Well, BNSF has put
22 about half the money into this, and there has been quite a
23 few millions of dollars since May of 2006, and they have
24 about a thousand switchers in their fleet, and I do not know
25 the exact number, but I would guess close to -- well,

1 probably about 400 of those, maybe it would be in California
2 because they operate only in Western USA and California has
3 the largest population, by far, of the states. Now, they
4 are interested in retrofitting those locomotives, and even
5 though there are not that many switch locomotives, they have
6 a disproportionate negative impact on the environment,
7 especially in the cities because they operate in urban
8 environments, in rail yards, and they are surrounded by
9 people's homes. And so they have about, in California,
10 about 5 percent of particulate emissions come from -- or 5
11 percent of total locomotive emissions come from switchers,
12 the rest of them are line haul locomotives. But the switch
13 locomotives are disproportionately harmful because they have
14 like this bubble of particulate matter over these rail
15 yards, and the CARB is quite aware of this, and they have
16 been very influential, actually, in making the world aware
17 of this, and been a leader. So to answer your question,
18 BNSF is interested, they are, by contract, they own all the
19 intellectual property for this, on this locomotive, and so
20 presuming that it works as well as it has so far, then they
21 would be, I believe, interested in trying to commercialize
22 it.

23 MR. OLSON: Okay, very good. Thank you.

24 MS. BAROODY: Thank you so much for your
25 presentation. We appreciate it.

1 DR. MILLER: Thank you.

2 MS. BAROODY: Okay, next we have Paul Scott with
3 ISE. If we can just try to keep the presentations to 12 to
4 15 minutes, I know it is difficult, but we have a lot to fit
5 in, still, today.

6 MR. SCOTT: Hopefully I will fly through some of
7 these, as a result. And I have got to go backwards here, I
8 think, to give you a preview of what we are going to talk
9 about.

10 This slide points out a number of the vehicles we
11 have done, it is pointing out here most of these are
12 hydrogen vehicles. And this is a gasoline hybrid, this is a
13 diesel truck, this is a natural gas, all the others, that is
14 our first vehicle, our second, our third, our fourth, and
15 our fifth generation hydrogen bus designs. So this just
16 gives you a little bit of what we do. Our focus is
17 exclusively on electric drive, heavy duty vehicles, 140
18 employees, we have got about 300 vehicles -- near 300
19 vehicles in revenue service every day with about 50 million
20 to 20 million miles, I do not think anyone is counting
21 anymore, but Long Beach Transit, for instance, this is one
22 of the customers, and that is illustrated below.

23 What we do is -- this has a little bit of a lag to
24 it, so I overshot here -- what we do is take components from
25 Siemens, Ford, or Cummins, for instance, for the engine,

1 battery fuel cell, for instance, we have also used UTC fuel
2 cells, and couple them within the case of the rotating
3 engines, electrical generator, inverters, electronic
4 components, and we build a lot of them, all the ones in
5 yellow background here are things we build ourselves because
6 we have not been able to find satisfactory outside -- so we
7 are an integrator of these machines.

8 And you will hear from BAE today, they are a key
9 competitor in this industry, Ellis is the other one, and
10 they hold the diesel space, we hold the gasoline space, and
11 the zero emission.

12 Just to give you a status report, we have got
13 about 250 of the gasoline hybrids delivered in revenue
14 service, we have got 50 of the 60-foot articulated buses
15 going into Las Vegas in the next few months. I mentioned
16 the hydrogen buses, I will mention battery electric, all of
17 these, with the exception of battery electric, are full
18 performance buses. Freeway speed, hill climb, the fuel cell
19 bus, for instance, going to Canada will do a 20 percent
20 grade. And I am going to talk about some of the harsh
21 realities. First of all, the diesel is an excellent way to
22 store energy. Ethanol is also good. When you include the
23 tank mass, CNG is about as good as ethanol, and hydrogen is
24 a factor of 3 behind, but it is still pretty good as
25 compared to a battery, you notice the battery is a factor of

1 10 behind in energy storage capabilities, so you can do
2 things with hydrogen in a ZEV vehicle that you cannot do
3 with battery -- a key point. And it involves some
4 complexity. Basically a fuel cell system, or a rotating
5 shaft engine, the various electronic components you need to
6 drive a motor energy storage, and the auxiliaries we drive
7 directly from the electrical system, so all of the
8 auxiliaries are electric.

9 That is strange. We lost about half the
10 presentation.

11 MS. BARODY: Just take a minute to change that
12 laptop here. For those of you listening online, we are
13 having momentary technical difficulties. Hopefully, just a
14 few more minutes.

15 MR. SCOTT: This is a slide that you have seen
16 before from a number of different presentations, the NRDC
17 program, for instance. The point of this, this is the third
18 hard fact here, is that whether you go biofuel, whether you
19 go battery electric vehicle, you still need to have hydrogen
20 as part of the long range picture. Fourth key point here is
21 the heavy duty vehicle is used typically up to 100 hours a
22 week, using 12,000 gallons a year, it is equivalent of 40
23 cars, so putting money into heavy duty vehicles makes sense
24 in the sense of being cost-effective.

25 And the other interesting fact, sort of a hard

1 fact for us, there are now 12 firms competing in the fuel
2 cell bus space. You have Daimler, of course, is a key
3 European, you have companies in Korea, in Japan, China, you
4 have within the USA E-Bus, Proterra, ISE, and a combination
5 of Venhul (phonetic), UTC, and AC Transit, all competing.
6 And the final point here, there are -- here is the outlook
7 for greenhouse gas reduction, there are several points here,
8 one is that the hybrid drive allows you significant
9 advantage, secondly, that you get significant advantage by
10 going to lower carbon fuels such as CNG, battery and fuel
11 cell offer large efficiency gains, about a 50 percent
12 reduction in greenhouse gases, and the final point here is
13 that, with a wind generation system, you can make renewable
14 hydrogen, and that could be game changing, especially as
15 people catch on that this is truly a zero emission solution.
16 And it allows us to avoid importing hydrocarbons.

17 Here is a news item from just last week lifted
18 from a HyFLEET promo, "Is a clean future too expensive for
19 us," is the point. And the answer I have got in green down
20 below here, "It was not too expensive to spend \$10 billion a
21 year on corn ethanol as a subsidy." And there are subsets
22 of what one can do with lesser amounts indicated on here, as
23 well. I will talk a little bit about the technologies.

24 Here is the London Bus that we are doing, the artist's
25 conception on the lower left, a breakdown of the fuel cell

1 system here. As you see, there are a lot of parts involved.
2 It is quite accessible. It is in a sense a full solution to
3 the zero emission problem, and this is a relatively
4 inexpensive fuel cell system. These buses go out at under
5 \$2 million, well under \$2 million. The BC Transit bus is
6 150 Kilowatt fuel cell in the back here -- I am just rushing
7 through these. Here are the BC Transit units in production
8 a few months ago, no longer in production; we do not have
9 further orders for them. We also are doing an all electric
10 bus, in many ways this is much more difficult than a fuel
11 cell bus. There are challenges -- funding being a key. We
12 just do not have enough people contributing to do this.
13 Insulation, support of electric infrastructure is going to
14 be a continuing concern, but above all, the battery cost,
15 the mass, and the volume. The bus is limited to a range of
16 150 mile range, that is just the best we can possibly do
17 with a battery electric bus. The answer here is, you know,
18 the ultimate answer is renewable hydrogen, as illustrated in
19 this slide.

20 Getting on to the questions, and the fiduciary
21 matters, we make about -- we have the capability of making
22 about 300 vehicles a year. Cost reduction is extremely
23 important to us. There are significant cost reduction
24 strategies available with investment and, of course, public
25 monies have been virtually frozen, venture capital nearly so

1 in the last year. I am giving you some projections here for
2 the next few years, 2011 and 2015 in two separate columns
3 here. Gasoline hybrid is now about \$550,000. I am guessing
4 that is going to come down maybe 10 percent, and then
5 another 10 percent in another four years. Natural gas
6 hybrids will be about \$50,000 more. Hydrogen -- full
7 service hydrogen buses, BC Transit, should come down to
8 about a million dollars, as we get a number of buses in
9 production. European money is very important on this. And
10 then we have battery electrics here, and these are
11 speculations since there has not been too much activity in
12 that arena.

13 Federal monies, our only significant sources of AB
14 118 match funds, but our recent experience has been negative
15 in that respect. ISE invests modest amounts of equity funds
16 to the extent that we can get monies available to invest.
17 Our urgent needs? First of all, an assurance of a market
18 with money and interest, indeed, for improved vehicles.
19 Secondly, an assurance of a cost of carbon-based fuels. We
20 do not know enough to make a projection whether oil goes to
21 \$200 or \$30, nor does anyone else. So there has been the
22 cost of fixing the cost of fuel, by means of some government
23 program that is under discussion, I guess, is all we can say
24 on that. We need hydrogen fuel at competitive cost, and by
25 competitive cost, we do not need \$3 hydrogen, we need \$6

1 hydrogen, because we have a factor of 2 gain just in the
2 efficiency. Development funds for component development --
3 we urgently need to get automotive quality components at
4 competitive prices, and these are large components, they are
5 not going to be developed by the automotive industry. We
6 have to do it ourselves, or someone else. And there are
7 many open opportunities, including CNG, hybrids, things
8 other than hydrogen. And finally, availability of loan
9 funds. Powerful incentives? One is for ARB to maintain, as
10 originally conceived, the zero emission bus rule such that
11 there will be a market in the state for zero emission buses
12 in the next few years. Secondly, the possibility of DGS,
13 Department of General Services, purchasing alternative fuel
14 vehicles. Similar rules for incentives for university and
15 college purposes. I mentioned award preferences for firms
16 developing renewable gases, fuels, and we can discuss all
17 these in more detail if you want. And there are
18 opportunities for NZEV approaches, which generally have not
19 been of interest to anyone. Once people see a fuel cell,
20 they want a fuel cell, and that is understandable. Thank
21 you.

22 MS. BAROODY: Thank you, Paul. Next up, we have
23 Rudy Tapia* [42:23] with Vision Motor, although, hold on, do
24 we still have Jeff Grant on the WebEx? Jeff was going to
25 maybe make some comments. Is that right, Paul?

1 MR. SCOTT: Jeff indicated he was open to answer
2 any questions on fuel cells.

3 MS. BARODY: Okay, we will move on then.

4 MR. WEISDORN: Good afternoon, ladies and
5 gentlemen. My name is Lawrence Weisdorn, the Founder and
6 Chairman of Vision Industries. We are dedicated towards
7 providing a solution for the heavy duty class A trucks that
8 are operating in and around the Port of Los Angeles and Long
9 Beach. On the slide, on the right side -- or the left side
10 of the slide itself -- is our freightliner, that is a zero
11 emission hydrogen fuel cell/electric plug-in vehicle, it is
12 currently undergoing testing in the Port of Los Angeles. It
13 was assembled for us by the freightliner dealer out in
14 Whittier, California, which is about 10 miles east of
15 downtown. The truck on the right side of the screen is a
16 Kenworth T660 that we are currently assembling for another
17 client. And both these trucks, again, are zero emission.
18 What we will be talking about today basically are solutions,
19 the hydrogen vehicle solutions, fueling strategies, and
20 future applications.

21 What we realized early on is that the chicken and
22 the egg problem that everybody is well aware of is something
23 that had to be overcome, so we have come up with a solution
24 that is specific to the Port of Los Angeles, and as the
25 previous speaker mentioned, there is a hydrogen pipeline

1 that flows in the Ports of Los Angeles, up along the
2 Domingas* [44:28] Channel and 405 out to 180, and so using
3 that as a supply for our hydrogen, we can effectively fuel
4 up to 4,000 trucks per day off of that pipeline itself, so
5 the egg problem is already solved within the ports. So then
6 the chicken problem is the truck itself, and we have already
7 produced that. The situation for the fleets that we have
8 talked to is basically they are looking for a turnkey
9 operation, in other words, here is your truck, here is your
10 fueling solution, and ultimately to get wide adoption of the
11 hydrogen zero emission program, you have to be able to
12 operate at cheaper per mile than diesel. So with the
13 availability of the pipeline diesel in there, and then based
14 on early testing of the trucks, we are finding we are
15 getting approximately the same mileage from a pound of
16 hydrogen, as made available through a gallon of diesel, so
17 were are finding one pound equals one gallon of diesel in
18 the stop and go traffic that you experience on the Port,
19 which would not be true on open highway driving.

20 Again, the situation at the Port is very interest.
21 The trucks all come back to the Port numerous times per day,
22 so there is no point in trying to fuel them out at their
23 destinations. By simply putting in three fueling stations,
24 one by the 710 Freeway, one by the 110 Freeway, and the
25 other one by the 103 Connector, you can effectively fuel the

1 entire fleet of trucks from three large truck stop stations
2 right in the Port. The fleet operators are also very
3 interested in receiving long term supply contracts for their
4 hydrogen. So, in other words, you can get fixed pricing, it
5 stabilizes their cost per mile, and it allows them to become
6 extremely competitive when competing against diesel engines.
7 Ultimately, you want the hydrogen trucks replacing the
8 diesel trucks because there is zero emissions.

9 1806, the very first internal combustion engine
10 ran on hydrogen; 60 years later, they invented the internal
11 combustion engine that ran on gasoline; 1892, Rudolph Diesel
12 came up with his, and it has been diesel and gasoline ever
13 since then because essentially they are cheapest per mile.
14 So the key to getting wide adoption to this hydrogen program
15 is to make sure that it is cheaper per mile than the other
16 competing fuel, which is diesel. Technology and
17 manufacturing and the producing of hydrogen have come down
18 to the point where hydrogen can now be produced very cost-
19 effectively, and most importantly, the consumption of
20 hydrogen in the fuel cells, the fuel cell technology itself,
21 has been dropping rapidly, and we are now at a point where
22 an inflection has been reached, and so, with
23 commercialization, you can actually drive or travel cheaper
24 per mile on hydrogen than you can on diesel and gasoline,
25 and that is very important to make sure that the broad

1 market adopts the hydrogen. Hydrogen costs, again, with the
2 supply from the pipeline gas, we are looking at stabilizing
3 between \$1.50 and \$2.75 per pound. We like to discuss it in
4 pounds as opposed to Kilograms because we are finding a
5 pound gets you as far as a gallon of diesel, so it is very
6 easy to equate.

7 Why hydrogen? Everybody is pretty well aware of
8 all this stuff, it is cheaper per mile, zero greenhouse gas
9 emissions, our trucks are extremely quiet. When you go to
10 our website at VisionMotors.com, and view the truck, we
11 actually have to have them honking the horn every once in a
12 while so people understand that we have not cut the audio
13 feed. You will see cars going by, and the cars are noisier
14 than the truck. These things are truly, you know, the only
15 thing you hear is the tire noise. There is no idling,
16 substantial increase in torque, hydrogen fuel cells create
17 electricity, so you are running an electric motor. You have
18 got your torque available from zero, we actually have to
19 limit our torque, depending on which transmission is put
20 into the truck. Hydrogen is made right here. The hydrogen
21 we are looking at is right in the Port of Los Angeles, so it
22 is domestic, it is secure, there are technologies that are
23 coming up that, over the next one or two years, we believe
24 will make renewable zero emission hydrogen available at
25 competitive pricing. As you all know, hydrogen can be made

1 from a variety of sources, water, CNG, there is even
2 technology that converts municipal solid waste to hydrogen.

3 Numerous car companies that you heard from this
4 morning, they are all rolling out hydrogen. The beauty
5 about that is they are going to be in charge of educating
6 the public about the benefits of hydrogen, the safety of
7 hydrogen, and basically they will be spending millions of
8 dollars educating the public and we all receive the benefits
9 of that education.

10 State and federal support -- in the early stages,
11 obviously, it is very desperately needed to make sure that
12 we make this transition from basically demonstration
13 projects, or early demonstration projects into commercial
14 viability.

15 Very quickly, this is comparing the three clean
16 technologies operating on the Port. There is the 2007 clean
17 diesel emissions LNG trucks, and then our Vision Tyrano*
18 [50:23]. Horsepower, which is your ability to maintain
19 speed once it is attained, is more than enough. Torque,
20 which is what the truckers are interested in, is your get up
21 and go, this is your pulling ability, your ability to
22 accelerate. Again, we have got up to 3,200 foot pounds
23 available, which will shred most transmissions, so it is
24 limited to whatever the transmission can take.

25 Very important for the people looking at

1 infrastructure, the hydrogen truck will consume
2 approximately 10,000 pounds of hydrogen per year. And so
3 that is something -- it is equivalent to somewhere between
4 60 and 65 cars, and so putting one of these trucks on the
5 road, you will have to put in an equivalent amount of
6 infrastructure to support 65 cars, so by commercializing the
7 fleet and getting them deployed into the Port, you are going
8 to really speed up the adoption of infrastructure, the
9 production of fuel cell grade hydrogen, the ability to
10 distribute it, and everything else. So putting the money
11 into the trucks and getting them out there will really
12 really accelerate your infrastructure roll-out for all of
13 the cars.

14 As you can see, the particulates, everything else,
15 you know, it is zero emissions. But when you get down to
16 the CO₂ numbers, these are substantial numbers, you know, by
17 running a hydrogen truck versus a diesel truck, that is
18 about 100 tons of CO₂ reductions per year, and even compared
19 to CNG, which is a misnomer calling it "clean," it is just a
20 cleaner fuel. You know, the 70 ton reduction over the
21 CNG's. And, again, zero noise pollution, so the possibility
22 of operating in neighborhoods or off-hours when trucks are
23 currently not allowed to operate.

24 Okay, that one did not come in -- basically it
25 shows -- obviously as more trucks are priced, are sold, the

1 price comes down. Our initial prototype, the first one
2 through off the line was approximately \$950,000, we are down
3 to about \$400,000 per pop on the next three or four trucks,
4 and what we are looking at is a 20 truck demonstration
5 program that we have partnered with the Port of Los Angeles
6 and Swift Transportation, and we are looking at a cost of
7 approximately \$280,000 per truck on that demonstration
8 program, and it drops to around \$250,000 fairly quickly
9 after that, and we believe in about two to three years out
10 from now, we can be down to around \$160,000 per truck, which
11 by the time you have your cost savings from the cheaper
12 transportation fuel and also some of the federal tax
13 credits, it will actually be much cheaper for you to drive
14 with hydrogen than it will with diesel. Fuel cells, pretty
15 well everybody in the room knows how one works. And no
16 pictures attached.

17 But other projects we have got coming up are -- we
18 have been approached by several of the cities in Los Angeles
19 with the possibility of looking at our drive train in a
20 refuse truck. Obviously anything that is stop and go
21 traffic, where there is a lot of idling going on, absolutely
22 perfect application for the zero emission drive train.

23 Finally, ultimately these things have to be bought
24 by commercial interests, so what you are looking at on the
25 purchase side is currently there is a \$40,000 federal tax

1 credit for heavy duty alternative vehicles, and then we are
2 discussing with numerous departments as to what type of
3 state credits and regional subsidies and credits can be
4 established. Again, for early adoption on this, some of the
5 commercial truckers, they are willing to step up and take a
6 risk on a new technology, especially if it has got the
7 promise of operating cheaper per mile, but they are going to
8 have to have some significant subsidies to take the chance
9 on the initial purchases. So for the first couple hundred
10 trucks, we are looking for significant subsidies from the
11 government to get these guys to adopt it, fall in love with
12 the technology, and then allow it to become fully
13 commercialized. Again, when you are operating these
14 hydrogen trucks, we are looking at 35-40 percent discount
15 per mile over diesel, if you have got an increase in power
16 and performance over diesel, there is no exhaust, they are
17 very quiet operation, you have got re-gen braking, so in
18 other words, you are allowed to use your Jake Brake within
19 City limits now. What we are hearing back from Eaton, who
20 is running an electric hybrid situation on their trucks,
21 typically in the old days, the brake shoes would be replaced
22 several times per year, on the early trucks with the full
23 re-gen braking, they are in over two years now without
24 having to replace their brake shoes, so a dramatic drop in
25 the maintenance costs.

1 No oil changes. And probably most important, at
2 the end of the day, you are not coming home to your
3 sweethearts smelling of diesel. And with that, I would like
4 to thank you and hopefully I kept it down to 10 minutes.

5 MS. BAROODY: Thank you, Lawrence.

6 MR. WEISDORN: Any questions?

7 MR. OLSON: Yeah, a couple questions here. So how
8 was your -- I did not catch -- how was your first project,
9 that prototype, that was all your investment from your
10 company?

11 MR. WEISDORN: Yeah, we are a private -- we have
12 been privately funded. We have put about \$3.5 million in to
13 date over the past three years, and now we are at the point
14 where we have proved out the prototypes to the point where
15 we have developed a production version, we have partnered up
16 with Freight Liner where we will drop ship the components to
17 Freight Liner, they will assemble it in Whittier, and then
18 the truck will be marketed and sold by Freight Liner as a
19 Freight Liner with a Vision drive train in it. And they
20 have also agreed to service it and do all the warranty work
21 on the program.

22 MR. OLSON: And refresh my memory of the Port of
23 LA Agreement. Aren't they about to put out a bid, or are
24 they in the midst of putting out a bid for this? Is that --

25 MR. WEISDORN: Yeah, correct. They are in the

1 midst of -- I think it is RFP or RFQ where they are looking
2 at adding us officially to the program to qualify for the
3 Clean Trucks Program down at the Port. One thing I would
4 like to mention also, Freight Liner, the present capacities
5 are that they can assemble 35 trucks a month for us,
6 starting immediately, and within a six-month period, they
7 could be up to approximately 100 trucks per month. So we
8 are in a situation that, if we received an order for 50
9 trucks tomorrow, the first of those orders would come off
10 the line 16 weeks from now, so this is a shovel ready
11 project, as they say at the Feds level, and it is ready for
12 roll-out.

13 MR. OLSON: And are you open to showing some of
14 the performance data, what you have come up with so far in
15 your prototype?

16 MR. WEISDORN: Absolutely. It is on my computer
17 on a different file, but we can share all that with you.

18 MR. OLSON: Okay, very good. Thanks.

19 MS. BARODY: Thank you very much.

20 MR. WEISDORN: Thank you.

21 MS. BARODY: Okay, we have about 25 minutes left
22 before our next panel, so I would like to welcome John
23 Maddox and Tom Apalenek with BAE Systems.

24 MR. MADDOX: Good day, everyone. Thank you for
25 having us here. If you are not familiar with BAE Systems,

1 we are based in London, England. It is a fairly large
2 company, about 105,000 employees, and we are in over 100
3 countries now, in 37 states, a large defense contractor and
4 annual sales are approximately \$33 billion.

5 This is to show you quickly our footprint
6 worldwide. A little less than 37,000 employees in the
7 country and, more importantly, 5,700 employees in the state
8 of California. One of the notable things about our company,
9 and we will tell you why you should know about hybrid
10 technology a little later in the presentation, but we have
11 in successful service today over 2,300 diesel hybrid
12 electric series products across North America, the largest
13 fleet being in New York City and, as you can see, several
14 other large cities, including London, and an order in
15 Seattle for 500 additional.

16 The largest single fleet in the world is in New
17 York City Transit. At the present date, there are 1,222
18 units in service, of which 241 of those have the new lithium
19 ion now phosphate technology battery system, 453 more to be
20 delivered.

21 The third largest hybrid fleet in the U.S. is in
22 the City of San Francisco, with Muni, 86 40-foot and 30-foot
23 units delivered there a couple of years ago, and there are
24 also 17 units in service in the City of London, and that is
25 an Alexander Dennis bus, which we have an exclusive

1 agreement with four dual axle, double-decker buses, and 12
2 meter single deck buses. And at this point, I will ask Tom
3 Apalenek, Senior Systems Engineer, to come up and talk to
4 you more specifically about fuel cells.

5 MR. APALENEK: Good day, everybody. And this last
6 slide that John put up here kind of shows our experience
7 over the years. We have been working on hybrid electric
8 and, actually, fuel cell vehicles, since about 1996, and in
9 the bottom row there, the bus on the left is a fuel cell bus
10 we did with Georgetown University back in 1997. And we did
11 a second one with them in '98, '99. We have also done
12 chargers for all-electric vehicles, and we are looking at
13 re-exploring that market as we move on. One fuel cell
14 program that we are working on currently, which is a little
15 bit unique in the fuel cell bus area is we are working on
16 what is called a compound hybrid fuel cell bus, this is a
17 program through the FTA in conjunction with CalSTART out
18 here. This is going to go into revenue service testing in
19 March of next year at MUNI in San Francisco, and essentially
20 this is a diesel hybrid electric bus with a fuel cell power
21 unit on the roof to provide all the auxiliary power for air
22 conditioning, power steering, lighting, air compressor, and
23 so on. We are using our next generation system and electric
24 accessories that we are currently integrating into the bus,
25 and we are trying to combine the best of both. One of the

1 key ideas behind this was to help provide a means of
2 commercializing fuel cells a little earlier in the process
3 by using a smaller lower powered fuel cell, so that we could
4 start to bring them into commercialization, rather than
5 going with the full size power plant. Also, this
6 demonstrates the electric accessory technologies, and I know
7 Paul from ISE talked about electric accessories on those, on
8 their systems, which are key to commercializing fuel cells.
9 And I kind of already covered this, but how does the hybrid
10 activity support alternative fuels and hydrogen initiatives?
11 And the key part of it is that all of the technologies that
12 we have to develop for the hybrid vehicles, particularly for
13 a series hybrid vehicle, are the same technologies for the
14 rest of the vehicle that have to be developed and
15 commercialized for a fuel cell bus, so it truly is the path
16 to the future.

17 This is just showing some of the product
18 improvements that we have made. John mentioned that we have
19 got several hundred of the lithium ion energy storage
20 systems that have gone into production now. The previous
21 system was lead acid, we have upgraded to that. The other
22 key part that we are adding to our next generation is
23 support for electric accessories and the integration of
24 electric accessories, again, key to fuel cells. And
25 actually, the lithium ion, I will talk to in a minute here.

1 That is going to be very key to supporting fuel cell
2 programs in the future because of the weight reduction.
3 Again, electric accessory support, all the cooling systems,
4 air compressor, power steering, air conditioning, auxiliary
5 systems clearly have to be electric for fuel cells.

6 This is our next generation traction system, it is
7 a little bit of an upgrade from the previous system that is
8 in service in a lot of the cities today, and we call this a
9 modular traction system and the key part about it that is
10 modular, if you look at the picture on the lower right, that
11 is our system attached to a standard diesel engine. One of
12 the things that we did to simplify integration for the bus
13 OEM's was make it so that it looks very much like a
14 transmission, but one of the key aspects of it is that the
15 generator that is needed with the diesel engine system
16 literally comes right off of the traction motor, so you
17 could separate it and just use the traction motor portion of
18 it.

19 Some future vehicle development plans that we are
20 doing today. We are working with CalSTART, some of the
21 ZTUG* [66:09] partners, and a number of leading suppliers of
22 fuel cell, buses, hydrogen fueling, toward the development
23 and the deployment of 50 or more -- we would like to see it
24 more -- fuel cell buses in multiple states, including
25 California. Right now, at least 25 buses are targeted for

1 deployment in Southern California. All of the technology is
2 based on proven systems from each of the team members, and
3 our goal, if we can get funding for this, is to get these
4 vehicles deployed before the beginning in 2012. And one of
5 the key things that we are hoping here is that a larger
6 fleet size will help to bring down those costs.

7 In the agenda, there were some panel questions
8 that you had asked that we try to address, and I put a
9 couple of the key ones up here. Regarding challenges and
10 opportunities, I do not think that we are aware of any
11 challenges other than the main ones that are known out there
12 today, which is fuel cell cost obviously has to come down,
13 robustness of service life needs to be improved, and,
14 actually, in the morning session some of the other
15 automotive suppliers, some of the things that they are doing
16 with the fuel cells was very encouraging in that area, so
17 hopefully the automotive marketplace will help with some of
18 those things. And obviously the hydrogen fuel sources and
19 facilities.

20 As far as opportunities, and I will talk about
21 this in conjunction with the overlooked applications, I
22 think one opportunity that we see that can really help in
23 the heavy duty market, particularly with transit, is to look
24 at the retrofit option. One of the things that we have
25 talked about whenever we have made presentations is that a

1 series hybrid bus is fuel cell ready, we have called it,
2 because all of the components are the same. But we have
3 always talked about it in terms of generalities, and I think
4 one opportunity for funding that might really help spur this
5 on would be to do a specific demonstration program to
6 develop two vehicle types, a CNG hybrid bus, and what is key
7 about that is, by going to lithium ion and some of the more
8 advanced energy storage and reducing the weight of the
9 system, you can now make a CNG hybrid practical and have it
10 fall within the weight that you need a transit bus to be,
11 and then the second bus type would be a fuel cell bus, and
12 the key part of this demonstration would be that you make
13 the two buses 100 percent identical, except for the power
14 plant. And the key thing that this does is it provides a
15 mechanism where transit operators could begin ordering CNG
16 hybrids that truly are convertible to fuel cell as soon as
17 the fuel cell power plants become commercially available
18 because they would be able to literally pull it out, pull
19 out the engine, and the generator portion of the system,
20 this could be done at the six-year major overhaul interval
21 that a lot of transit operators do, and also any existing
22 orders for those in the future, when in production, could be
23 converted from CNG to fuel cell at the OEM's factory, again,
24 when the fuel cells become available. So I think that is an
25 opportunity that would be worth looking at as a future

1 possibility. And this is just basically a little graphic
2 illustration of that, you have got the system, you pull out
3 the engine and generator portion of the system, and you put
4 in a fuel cell power module, and the rest of the bus remains
5 untouched.

6 So, in summary, I think all of the people that are
7 working on hybrids, and particularly series hybrids today,
8 that experience applies very well to the fuel cell
9 technology. The series hybrids supports the future goals.
10 We currently have thousands of vehicles in service proving
11 the technology, so we know that that portion of the
12 technology is reliable and, of course, you get all the
13 quieter operation, smoother ride. Retrofit options, I
14 think, re a key one that needs to be looked at, and we
15 believe that we can be a reliable systems partner for that.
16 Thank you.

17 MS. BAROODY: Thank you, Tom and John. Any
18 questions?

19 MR. OLSON: Yeah, a couple questions. This is Tim
20 Olson. So your recommendation on a demonstration program --
21 is that something that you have the capability of doing both
22 of those, the CNG hybrid and the fuel cell bus?

23 MR. APALENEK: Yes, we do. We have worked on a
24 number of fuel cell bus programs, actually, one of the
25 vehicles that was in that large picture of all those

1 vehicles actually was a CNG hybrid. We did a CNG hybrid
2 taxi for New York City a number of years ago as a
3 demonstration program with NYSRTA. So we have experience
4 with both of those.

5 MR. OLSON: And would you work with other vendors
6 on that? Or do you manufacture everything yourself?

7 MR. APALENEK: No, no, we would work with a fuel
8 cell partner for the fuel cell portion of it. We would work
9 with a bus OEM for the actual vehicle, so it would be a
10 partnership.

11 MR. OLSON: And do you have any of your
12 manufacturing in California for assembling?

13 MR. APALENEK: At present, the manufacturing is
14 not in California. We have a number of facilities in
15 California, and we are actually looking at making California
16 into an application center, where we would be able to do
17 integration field service.

18 MR. MADDOX: The fuel cylinders are built at SCI
19 in Pomona, and the cage for the fuel cylinders is built by a
20 --

21 MR. APALENEK: Fab Industries, Inc. Yeah, some of
22 the partners that we are working with are in California for
23 some of the components on this current bus. And actually
24 the hybrid -- the compound hybrid that I mentioned, all of
25 the integration with the fuel cell portion of that is going

1 to be done in Ontario, California.

2 MR. OLSON: And do you have any similar
3 information that the Vision owners, the people describe in
4 terms of through-put for the hydrogen version of this? Fuel
5 through-put on an annual basis?

6 MR. APALENEK: I am sorry, fuel through-put, or
7 number of vehicles?

8 MR. OLSON: Hydrogen fuel through-put?

9 MR. APALENEK: No, I do not have any data on that
10 at this point. We can certainly develop that and provide
11 you with some estimates and projections.

12 MR. OLSON: And what did you say the cost of your
13 prototype was, and where you are going on the next step?

14 MR. APALENEK: The cost of the prototype,
15 actually, I do not have for you. John may be able to
16 provide that, the FTA program, I know, is the public
17 information. I do not know if you want to address that,
18 John?

19 MR. MADDOX: That particular program runs for
20 three years and it is approximately \$5.6 million program,
21 but there is a lot of support that goes with it beyond the
22 vehicle itself. The 50 bus consortium, we mentioned
23 earlier, you know, the price to win goal there is \$1.8
24 million.

25 MR. OLSON: Okay, very good. Thanks a lot.

1 MS. BAROODY: Thank you again. Next up, we have
2 David Pfeil with Plug Power.

3 MR. PFEIL: Thank you. Now, I want to talk about
4 Plug Power and what we do. I am primarily going to focus on
5 the hydrogen infrastructure to supply our project, which is
6 one of our major challenges at this point. Plug Power, our
7 market is electric lift trucks. We replace the lead acid
8 battery with hydrogen fuel cells. The different classes
9 that we target, Class 3, is the pallet trucks, Class 2
10 stand-up reach trucks, and those two are typically lumped
11 together in the high through-put fuel distribution industry,
12 companies such as Wal-Mart, Target, Kroger's, etc. And then
13 the sit-down lift trucks, those are mostly in the
14 manufacturing industry, Bridgestone, carpet manufacturers,
15 etc. And what our customers want is a product that simply
16 plug-in play, so it replaces the lead acid battery with the
17 hydrogen fuel cell, so they do not have to replace their
18 lift truck, itself, but just take out the battery, put in
19 the hydrogen fuel cell, and they operate as normal.

20 So the material handling business in California,
21 it is a multi-billion dollar North American market. And
22 there is a large opportunity, obviously, to supply
23 California, which is one of the biggest states in terms of
24 the materials handling market. So in California, there are
25 over 50,000 electric lift trucks operating in the large

1 fleets, and we typically are only going after large fleets,
2 not the one or two installations, so it is mostly the high
3 through-put. And this provides California and it provides
4 different states with the ability to roll out distributed
5 hydrogen re-fueling. So if you look at each warehouse, it
6 is up to 300 plus kilograms a day of hydrogen, it is high
7 utilization rates, so these are operating 20-24 hours a day,
8 seven days a week, and obviously using hydrogen. It is a
9 predictable and rapid adoption rate, so when you sell the
10 lift truck, you provide the hydrogen station with it, so it
11 is not like automotive where you have to first install the
12 fueling stations and then wait for the vehicles to catch up,
13 this, you install at the same time, so there is no --
14 typically wasteful by the industry -- the chicken and egg
15 scenario. And then, also, because you are not charging lead
16 acid battery, you are reducing the load on the grid, and the
17 options obviously for renewable hydrogen where you can get
18 clean green hydrogen to the left trucks.

19 Also, we have spoken to a lot of the customers are
20 leveraging the hydrogen infrastructure at their sites and to
21 be able to use it for automotive or truck fueling, as well,
22 so there is an option for that. The hydrogen fueling at
23 materials handling sites is typically the same as for
24 automotive, you know, you have your installation, you have
25 your components, your hydrogen supply, your compression and

1 storage, etc. The biggest difference is that we have indoor
2 dispensing, so we need to dispense these lift trucks inside
3 the warehouses, they do not go outside. And so we need to
4 safely and effectively do it indoors, and that is our
5 strongest value proposition is making sure that the lift
6 truck operators are on the floor doing their work, as
7 opposed to changing out batteries, and then the operation,
8 as well. And typically that is how the hydrogen to the
9 customers is processed, a fixed portion which is the
10 installation, and then the capital costs, and then the
11 operating costs, which is the hydrogen molecule, and the
12 maintenance.

13 Installations, so we have inside a distribution
14 center, these are on the order of magnitude of about a
15 million square foot. We have sort of two to five dispensers
16 typically installed within the distribution centers at
17 various points that makes sense to the operation. And we
18 have either, if you can see on the top left here, we are
19 running the tubing on the roof of the distribution center,
20 we have also run it in the trusses inside, or on the walls
21 and we have also done in new distributions, we have run the
22 hydrogen piping under the floor before the concrete is laid,
23 and then stub up at the dispensing points.

24 This is an Air Products also liquid supply,
25 horizontal tanks, and these are industrial settings, so we

1 comply with NFPA, all the international codes, and make sure
2 that the setbacks, etc., are within code. Luckily, most of
3 the places have enough space where we can adequately site
4 the liquid tank, and that is mostly what we have used is
5 liquid supply at the distribution centers. But we work with
6 the fire departments, the code officials, etc., to make sure
7 that we have all the correct permits and approvals to
8 install these systems.

9 So supply and compression, I am sure most of you
10 are familiar with these. This is an Air Products site with
11 a vertical liquid tank, so the liquid tank vaporizes
12 compression, and then high pressure storage, and those are
13 all situated outside the distribution center.

14 This is a Linde system where the liquid tank
15 obviously arrives and discharges to the liquid storage
16 tanks, which are located on site. We also are looking at
17 natural gas reforming, which is the potential and we are
18 looking to see if that makes economic sense, as well. All
19 the places we have done it thus far, it has not made
20 economic sense to do that, and we have just used liquid
21 supply.

22 This is another Linde installation, and what one
23 of the biggest, most critical factors at these distribution
24 centers is making sure that there is reliability of supply
25 because, the way they are operating, if we stop supplying

1 them the hydrogen, their product is sitting on their floor,
2 not moving, and all the premise with just in time supply,
3 that obviously cannot happen. So we built in a lot of Linde
4 products and we work with both a lot of redundancy to ensure
5 that we have continual 24/7 supply of hydrogen. And here
6 you can see the containers contain the compression and
7 storage, and there is some redundancy in there, as well as
8 the vaporizers.

9 Indoor dispensing, pictures of two Air Products
10 dispensers, we have stand alone ones, as well as wall-
11 mounted dispensers. We have on the Class 2 and 3, which is
12 the grocery distribution, we have 250 bar pressure, and
13 then, on the Class 1's, which is the largest sit-downs, we
14 have 350 bar pressure.

15 If you look, these are Linde stations and, up to
16 now, we have worked mostly with Linde and Air Products. If
17 you look at the top left hand with the operators fueling the
18 lift truck, we have three connections, we have the hydrogen
19 connection, we have the de-watering connection, which
20 removes the water when we are fueling, this allows, because
21 these lift trucks work in the freezer operations, which goes
22 to -20, we cannot have truck vaporized water and we cannot
23 leak water onto the floor, because that is a safety hazard,
24 so we store it and then remove it during fueling. And then
25 we also have a ground and data cable, as well, which we

1 connect when we do fueling.

2 So the plug power commercialization status to
3 date, so today we have over 1 million operating hours of
4 fuel cells in lift trucks, and this is at customer sites,
5 this does not include our testing, these are commercial
6 sites and commercial operation. We have just over 106,000
7 fuelings, as well, without any safety incidents to date.
8 The only instance we have is driveways, so operators pulling
9 away with the hydrogen hose still attached, but the
10 breakaway has worked on most occasions, sometimes we have
11 damaged the nozzle, but we have not had any releases of
12 hydrogen in those instances either. So right now, we are
13 averaging about 330 Kilograms per day of hydrogen, and we
14 expect our projection to more than double by March of next
15 year.

16 These are some of our current customer -- Wal-
17 Mart, Bridgestone, and above the line is other customers
18 that are currently installed and currently operating. Below
19 the line are the customers and the locations that are under
20 construction, or about to start construction. As you can
21 see, most of them are in -- we have not had any in
22 California, as yet.

23 This is a picture of the roll-out at a company
24 called Central Grocers. They are based just outside of
25 Chicago in Illinois and they were our first Greenfield site,

1 so it was a distribution center which was made full purpose
2 for hydrogen and did not have any battery charging
3 infrastructure in, and this was our first order of 140 lift
4 trucks which obviously fit into the Yale lift trucks, pallet
5 trucks.

6 So barriers to commercialization in California,
7 there is a strong interest from companies here because of
8 higher electricity costs, as well as they see the
9 productivity benefits that they have been getting from using
10 fuel cells, as opposed to acid batteries. Our largest
11 barrier at the moment is hydrogen competing against the grid
12 electricity. The companies know what the cost structure of
13 doing this, and we need to break through into that, and we
14 need first movers, and then we have seen in other parts of
15 the country that other people learn and follow. The
16 companies with their head offices outside of California,
17 they are looking at the moment and doing business where
18 there are states that are giving funding, for instance, a
19 company called Wegman's, their head office is in New York,
20 but they just did a project in Pennsylvania because they
21 just received funding from Pennsylvania State.

22 So what we are looking for is incentive to the
23 customer up front and to cover the costs, with a portion of
24 the cost of the installation costs of hydrogen, and which
25 obviously reduces their ongoing operating costs. And we are

1 working with them and working out of different sites, we are
2 getting customers to overcome the scare of the dark type
3 perception of hydrogen and the complexities thereof, and we
4 are getting them to work with Linde and Air Products to try
5 to simplify the hydrogen and the cost structure to the
6 customers. So that is what we are looking for, so short
7 term incentive which will immediately bring customers online
8 in California, and then help and cause other people to
9 follow suit. Thank you.

10 MR. BAROODY: Thank you very much, David. Are
11 there any questions?

12 MR. OLSON: Yeah, I have a question. Can you just
13 walk through some of the cost benefits of hydrogen? So you
14 are displacing, you said, the acid battery --

15 MR. PFEIL: Correct.

16 MR. OLSON: And I can see where that might be
17 beneficial just from the time spent not moving product and
18 dealing with -- can you describe what that cost differential
19 might be? Or what the benefit is?

20 MR. PFEIL: It is mostly in the labor cost, you
21 know, if you look at a site which has around 300 lift
22 trucks, and each operator, when they change their battery,
23 it can take, you know, if there is no line-up, it can take
24 10 minutes to change it. If there is a line-up, sometimes
25 it takes them 30 minutes to change that battery. And their

1 run time is a lot shorter, as well, on a battery versus a
2 hydrogen fuel cell, as well as with a lead acid battery, you
3 get -- as everyone knows, with batteries you get a battery
4 drip, the AC technology has taken care of some of that, but
5 you still get some drip in your battery, whereas a fuel
6 cell, on our technology, it takes approximately 30 seconds
7 to two minutes to fuel. And then you are not getting any of
8 that battery drip, so it is operating like a fresh battery
9 all the time. So if you look currently on payback, which is
10 what most of the customers look at, they are looking at sort
11 of under two-year payback, and that is what we -- on the
12 ones that have gone commercial -- we offer that.

13 MR. OLSON: You had mentioned that you thought
14 California was a \$50,000 lift truck market. What is the
15 turnover on that? What is the annual turnover? Is that --

16 MR. PFEIL: Well, in the U.S., you are getting
17 about 175 to 2,000 sales of new lift trucks every year, so I
18 have not broken that specifically to California, but that is
19 what you are getting within North America. But our product
20 can fit into the existing fleet, we do not have to wait for
21 new product, new lift trucks.

22 MR. OLSON: Have you been approached, or have you
23 looked at this potential business model of combining your
24 big box warehouse type of operations with maybe some of the
25 transit or potential truck -- more industrial -- is there a

1 potential to locate a fueling site that would benefit both
2 on-road, medium duty, heavy duty, maybe, and also your
3 forklift -- your lift truck?

4 MR. PFEIL: Yeah, there is. And we have spoken to
5 customers, as I say, like Wal-Mart and Kroger's, and people
6 like that about it, and there definitely is -- you could use
7 the infrastructure that is outside the warehouse and have a
8 automotive style dispenser at their location. We are
9 currently doing that at Aiken, actually, where we supply --
10 our infrastructure is going to supply two warehouses, and
11 then it has an automotive style dispenser, as well.

12 MR. OLSON: And what is the lift truck, whether it
13 is electric or hydrogen, what is the base cost on that?

14 MR. PFEIL: A pallet truck is probably around
15 \$10,000, if I remember correctly, around there, and they can
16 go up to \$20,000 or \$30,000.

17 MR. OLSON: Okay, thanks very much.

18 MS. BARODY: Thanks, David.

19 MR. PFEIL: Thank you.

20 MS. BARODY: We have an addition to this panel,
21 and that would be AC Transit, Jaimie Levin.

22 MR. LEVIN: While she is pulling up my
23 presentation, I direct the Alternative Fuels Policy Program
24 for AC Transit, which is a fancy description of what I
25 really do, which is to run our Hydrogen Fuel Cell Program.

1 And so let me just start out by acknowledging what Peter
2 said at the start of this workshop, that what the state
3 would like to see our model projects and model development
4 efforts that can be really an example to the rest of the
5 world, and anyone who knows what we have been doing at AC
6 Transit, which is now expanding to the Bay Area Region,
7 anyone who knows this project in terms of what we have
8 accomplished, what our goals are, what our prospects are for
9 the future are, will clearly acknowledge this is an
10 international project, it is largely funded by the state of
11 California, and our objective is to keep rolling, and so let
12 me give you a quick background as to where we are and where
13 we are going, and what the Energy Commission can do to
14 support that effort, and in fact has been supporting us in
15 some measure.

16 So Phase 1 of the project, which has been in
17 operation for three and a half years, been funded to over
18 \$21 million -- public, private contributions, and the Energy
19 Commission actually gave us a million dollars early on to
20 fund the station that we built with Chevron. The
21 performance in the last three and a half years has really
22 been quite remarkable. You can see that we have reached
23 close to 200,000 miles of passenger service, we have carried
24 over 450,000 people. We are getting 70 percent better fuel
25 economy, even though these vehicles are 8,000 pounds heavier

1 than their diesel counterpart, which we do careful testing
2 with a control fleet. And also interesting to note is that
3 the fuel cell buses utilize air conditioning, which is a
4 pretty heavy parasitic load. The control diesel fleet does
5 not have air conditioning. So that fuel economy number is
6 something that we are very excited about in terms of
7 performance. And even though we make our fuel by reforming
8 natural gas at our Chevron station, our grid analysis shows
9 a 43 percent reduction in greenhouse gases. So you can
10 imagine with renewable fuel what the ultimate benefit is.
11 And then, fuel cell durability has been climbing steadily.
12 Our partner is UTC Fuel Cells, we are seeing some phenomenal
13 numbers, which I am not at liberty to share with you under
14 NDA, but it is showing us as the end user, that there is
15 really potential here for our industry. The public? They
16 love this. I think the gentleman from GM talked about how
17 people love driving the cars. The people love riding our
18 buses. I am a bus user, I take a fuel cell bus to work,
19 believe it or not, and that is entirely coincidental. But
20 the bottom line is, these vehicles are quiet, they are
21 smooth, they represent a different mode and our public loves
22 it and wants us to continue.

23 So second phase of our expansion, which we are
24 involved in now is over \$50 million, funded by a variety of
25 sources. Now, one of our goals beyond proving the

1 technology is to replace the guy in the lower left photo
2 with this guy, but for those people who are not in the room,
3 but are on the Web, I want to offer a disclaimer, this is a
4 Photoshop version. But, in fact, we have received a major
5 stimulus grant from the Obama Administration, and we believe
6 our next generation vehicle is going to really open up the
7 doors, the gateway for what we think will change our
8 industry.

9 This next program is a Bay Area program, Gerhard
10 referenced that, it is not just AC Transit, although we are
11 the lead, it is these other four transit operators that are
12 working in partnership with us. What is really exciting
13 here is I am going to go over just some of the very few
14 basics of this new design. What makes it different from our
15 existing vehicle design, of which we are building 12 of
16 these, first of all, we are 6,000 pounds lighter, so this
17 new bus is only 2,000 pounds heavier than a diesel bus,
18 secondly, it has been fully integrated by an OEM, and we
19 have realized significant benefits in component design and
20 engineering, as well as the weight. We are introducing
21 lithium ion batteries in this technology, actually by a U.S.
22 company, Enterdale* [95:03], which recently received a big
23 stimulus grant for their efforts, and our fuel cell warranty
24 is up to 10,000 hours with this new vehicle. So our
25 objective with the vehicle is to show that it is fleet

1 ready. But, if we are going to convince the industry and
2 our decision makers that this technology is in our future,
3 we have got to do more than show that the vehicle works, we
4 have got to show that the infrastructure and the fueling
5 side of this works, as well. We have to expand from our
6 current capacity of 150 kilograms per day to over 400, and
7 to help us with that, we just received, I mentioned, a
8 stimulus grant from FTA in the amount of \$6.4 million, which
9 will go towards a solar installation to expand our solar
10 capacity, to 1.7 Megawatt hours per year, and all of that
11 power is going to go into renewable hydrogen so that we can
12 satisfy our CARB grant for light duty fueling at our
13 Emeryville station that we are building, as well as provide
14 green power for our efforts at our Oakland site. Our
15 Oakland station, which we run now, we produce over 41,000
16 Kilograms of fuel, and this has been a great partnership
17 with Chevron. But, quite frankly, we have been spoiled.
18 And Chevron has done a fair amount of investment and been a
19 marvelous partner, but there is not a business case for them
20 right now, so we have to go out on our own and find a
21 partner and a company that we can make this more commercial,
22 and we have out on the street, as we speak, a solicitation
23 to build two new hydrogen stations, one for Emeryville, and
24 one to replace our Chevron station in Oakland, and we have
25 some hungry companies in the industrial gas business that

1 are preparing their solicitation, some of them I see sitting
2 in the audience, I thought they would be at home working on
3 their proposals, but whatever.

4 So what do we need to do on the infrastructure
5 side to bring this to commercialization? First of all, we
6 have to be able to fast fuel our vehicles. We have hundreds
7 of buses that are fueled in five to seven minutes, each. So
8 that is a labor issue, just like the lift truck dilemma, as
9 well. Secondly, we have to be more energy efficient and
10 reduce -- try to keep our costs down and fuel production,
11 thirdly, we need to push towards a green footprint solution,
12 and then, lastly, it has to be scalable.

13 Our current program is three buses, we are growing
14 to 12, we see ourselves as the center of excellence, we want
15 to be able to go to 20, 30, 50 buses, and do it fairly easy.
16 Here is the station in Emeryville that we are moving forward
17 with, and we are looking with our partners on the auto side,
18 Hyundai is a partner with us now, we are looking to both
19 Toyota, Daimler; GM and Honda have expressed an interest to
20 actually use this Northern California station, which is
21 right across the street from Pixar Studios. There are some
22 images of what the station would look like from the street
23 side, with respect to public access, and then you can see
24 how we share the bus and the private or light duty fueling
25 at the same location. We have a continuing evaluation

1 program with DOE and the National Renewable Energy Lab to
2 track what we are doing. And we also have a pretty
3 aggressive education program that we work through U.C.
4 Berkeley's Lawrence Hall of Science, reaching out to all of
5 our high schools, secondary schools about the work that we
6 are doing.

7 Here are our next steps. The 12 bus program is
8 what CARB is looking at very closely in this next year. But
9 we hope, with these new buses and this new infrastructure,
10 to really be able to grow this as a center of excellence to
11 up to 50 buses, and prove to our industry that, indeed, this
12 is our future. So the punch line to this presentation,
13 which I will direct to the Energy Commission, is that we
14 responded to the last solicitation, we put a dynamite
15 proposal together, but we were rejected right up front
16 because the Oakland station that we are seeking additional
17 funding for is not a true public access station, it is an
18 industrial area, it is very difficult to get to the fueling
19 pumps where there are located, as opposed to the Emeryville
20 station, which is very accessible to the public. And here
21 is this state project that is world renowned, in which we
22 are not asking for, in the fleet application, for a
23 multitude of stations, we are asking for funding to build
24 one station as part of this demonstration which has so much
25 potential in terms of vision and future. So that is what I

1 pose to the Commission and the workshop effort, is that you
2 consider some aspect of the state's funding going to fleet
3 applications that do not necessary have public access. If
4 we can provide it, we will be the first at the door to do
5 it, but that is not something in many locations, for fleets,
6 it is not something that we can easily do. So with that, if
7 there are any questions, I think we are way over time for
8 the next round.

9 MS. BAROODY: Thanks, Jaimie.

10 MR. OLSON: Jaimie, this is Tim Olson. What does
11 it cost for these buses?

12 MR. LEVIN: Well, let me start with -- the first
13 buses were \$3.2 million a piece. These buses are \$2.5
14 million a piece, not acceptable numbers when a diesel bus,
15 we can buy with the 2010 emissions standards at around
16 \$400,000; however, when you look, especially on components
17 with the fuel cell box, there are some handmade pieces,
18 manifold pieces, that you could probably buy at a Home Depot
19 for \$100, but which cost maybe \$12,000, \$15,000 to make for
20 these research vehicles. So supply chain economics have not
21 kicked in to this. And this, I think, came up previously --
22 what is the state's role? What is the federal government's
23 role? That role is really to enable these visionary
24 technologies, if we can prove performance. And it is going
25 to take -- to get across the Valley of Death -- it is going

1 to take some investments. And it is not the state's
2 responsibility alone, it is the federal government is going
3 to have to step in because, in the end, it is a public
4 policy issue of is it worth it to us to have silent vehicles
5 in our neighborhoods, to have zero emission in urban
6 neighborhoods, is it worth it to us to really do away with
7 reducing greenhouse gases, so long answer to your question,
8 but I think it is important to realize that we are driving
9 the costs down, and the state, as well as the federal
10 government, can help realize that objective.

11 MR. OLSON: And what is the cost of your fueling
12 station that you are looking at in Oakland?

13 MR. LEVIN: Well, I can tell you what the budget
14 is, but I maybe even should not say that because we have got
15 some people in this room who are bidding on our hydrogen
16 systems. I hope to be able to come back in another month, a
17 month plus, to tell you what those costs are. I can tell
18 you that, for the Chevron station, we put \$2 million into
19 that project and Chevron put in a whole lot more than that,
20 as a research station, and it is not realistic to what the
21 true costs are, and we want to be able to come back and
22 share with you what they are costing us in order to get this
23 rolling.

24 MR. OLSON: Yeah, just a comment on -- I think it
25 is a good point you are making about the public access.

1 This needs to be on the table for this next round of funding
2 or even, for that matter, this round that we are going
3 through now. And part of the rationale for that from our
4 Commissioners was that we have got 20 some odd stations
5 throughout California, and many of them are not operating or
6 they are not public access, so it just kind of minimizes the
7 use, and we did not want to repeat that. So I suspect that
8 is a smarter spending of money and strategic targeting of
9 where we actually put money.

10 MR. LEVIN: I understand that point of view, but I
11 would just ask you to consider what we have accomplished
12 with the state's money and investment, this is a world
13 renowned program, not just because we have got all these
14 miles and fuels consumed, and what have you, but we have
15 developed technology with a true prospect for the future.
16 So we would ask you in this round to open up at least some
17 portion of that funding to fleet applications. I think the
18 LA project with trucks, and the lift truck projects, those
19 are other fleet operations that I think merit attention, as
20 well, even though I might be competing against those
21 projects, but I think they all merit consideration.

22 MR. OLSON: And do you own the fueling station, AC
23 Transit?

24 MR. LEVIN: We do own the fueling station, and we
25 will own these other fueling stations, as well. But the

1 Chevron station was really a very advanced R&D effort, and
2 so, with our agreements with Chevron, we will be
3 decommissioning that station to make way for the new station
4 that these companies are bidding on, as we speak.

5 MR. OLSON: Okay, thanks a lot. I appreciate your
6 comments.

7 MS. BARODY: Thank you, Jaimie. We appreciate
8 it. Okay, we are going to take a real quick five minute
9 break and we will be back at 2:55 with our next panel.

10 [Off the record at 2:56 p.m.]

11 [Back on the record at 3:05 p.m.]

12 MS. BARODY: Next up is our Fuel Production and
13 Distribution Panel. Is Dr. Tim Brown available? There he
14 is.

15 DR. BROWN: Hi. I am Tim. I want to thank the
16 Commission for letting me speak today. I am going to talk
17 about UCI's views on the whole hydrogen fuel cell vehicle
18 subject.

19 Transportation problem -- before we look at
20 alternatives, we need to define the problem, and I think the
21 transportation problem is being driven by three forcing
22 functions, which you are all very familiar with. Of course,
23 there is air quality, and that can be summarized here in
24 California by the Carbon Strategic Action Plan, the
25 strategic plan, as well as the EPA Natural Ambient Clean Air

1 Standards, Global Climate Change, again, California AB 32
2 and Pavley Bill, and last but not least, petroleum
3 dependence, which leads to many things, including
4 geopolitical instability, price uncertainty, on down the
5 line. But these three forcing functions do not stand alone,
6 they are all integrated, tied together by one common theme,
7 and that is market acceptance. No vehicle option can meet
8 these three goals without being accepted by the market. So
9 any successful alternative is one that will meet the needs
10 of the consumers and the economy. And we believe fuel cell
11 vehicles are really the only option to this point that can
12 do this -- meet our goals, and meet the needs of society.

13 Continuing on, to talk about greenhouse gas
14 emissions, the little picture there. The well to wheel
15 greenhouse gas emissions are drastically reduced, regardless
16 of the mix of hydrogen generation technologies. We have
17 done some modeling to show -- excuse me, my graphics are
18 kind of screwed up, you will have to give me just a second
19 for my graph to show up. We even went through this earlier
20 and it was working.

21 MS. BAROODY: Those of you online, we are just
22 fixing the PowerPoint presentation.

23 DR. BROWN: All right, greenhouse gas emissions
24 get reduced regardless of hydrogen generation method. On
25 the vertical axis, we have greenhouse gas emissions and CO₂

1 equivalent. This analysis was for the entire state of
2 California. On the horizontal axis, we have two different
3 scenarios, one for 2030 where we assume a 12.5 percent
4 penetration of hydrogen fuel cell vehicles, and the other in
5 2060 where we assume a 75 percent adoption of vehicles, and
6 for each scenario, we have three bars, orange being a
7 baseline case of gasoline vehicles. And it is important to
8 note that these are not today's gasoline vehicles, these are
9 future advanced, more efficient gasoline vehicles, as
10 projected by the CARB IMFACT* [5:10] model for each of the
11 years 2030 and 2060. And for each scenario, the blue bar
12 represents hydrogen that is generated from a more fossil
13 fuel scenario, so it is Scenario F, and the green bar
14 represents hydrogen generated from more renewable sources,
15 so that is Scenario R. And there are two sort of important
16 takeaways from this, the first being that, for either
17 scenario, the hydrogen fuel cell scenario, for either fuel
18 cell scenario, reduces greenhouse gases significantly
19 compared to baseline gasoline vehicles. The other important
20 thing is that, regardless of the hydrogen generation
21 scenario, be it more fossil fuel or more renewable, there is
22 not too much difference in greenhouse gas emissions. Sure,
23 the renewable case is better, and this renewable case
24 actually is the 33 percent case as proscribed by SB 1505.
25 So fossil fuel is not as good as renewable, but not

1 drastically. These results were published in the
2 International Journal of Hydrogen Energy.

3 Sticking on greenhouse gases, it turns out that
4 the greenhouse gas emissions for the vehicle scenario is
5 reduced regardless of the hydrogen delivery method, so,
6 again, same sort of graph. CO₂ emissions on the vertical
7 axis and three different categories on the bottom here, with
8 Scenario F, again, fossil fuel generation primarily,
9 Scenario R, more renewable generation, and a baseline case.
10 Now, both the fossil fuel generation and the renewable
11 generation includes some of each, just the renewable is more
12 slanted toward renewable fossil fuel, more slanted towards
13 fossil fuel, and here the orange line is the baseline case
14 of gasoline vehicles; of course, all the fuel of today is
15 delivered by truck for gasoline vehicles. The other two
16 scenarios, the blue line is for all truck delivery of
17 hydrogen and the green line is all pipeline delivery, so we
18 have bracketed the two bounds of how this may happen.
19 Realistically it is going to be a mix of both. But you see
20 that both cases are better than gasoline, and both cases are
21 relatively similar. It turns out that the delivery method
22 makes relatively little difference for greenhouse gas
23 emissions. And the last scenario for greenhouse gas here is
24 that it makes very little difference of where the hydrogen
25 is generated, whether it is on-site or a central location

1 with delivery. And a similar graph, CO₂ emissions
2 vertically and our two cases of 12.5 percent penetration, or
3 a 75 percent penetration. You can see that the orange line,
4 again, baseline case, gasoline vehicles, the blue line is an
5 all distributed scenario, where all the hydrogen is
6 generated on-site, the green line is all centralized, where
7 it is all generated at a central location and delivered to
8 the stations. Again, for the outline case, 75 percent
9 adoption of these vehicles, the centralized case is not as
10 good as distributed because of the emissions associated with
11 delivery, but they are relatively similar and they are both
12 far better than gasoline.

13 Moving on to look at air quality, this same
14 modeling tool, which is called STREET that we have, Spatial
15 and Temporally Resolved Energy Environmental Tool, and we
16 can use this to go a step further than the greenhouse gas
17 emissions I showed to actually look at criteria pollutant
18 emissions, and the formation of pollution in the atmosphere.
19 And if we look at two scenarios here for hydrogen
20 generation, again, both graphs represent a 20/60 case where
21 75 percent adoption of hydrogen vehicles, a big portion of
22 the hydrogen actually generated in the areas shown here, and
23 this represents the South Coast Air Quality Management
24 District, rather the South Coast Air Basin, and you can see
25 Los Angeles, Anaheim, Riverside, try to get your bearings,

1 the left of this black line is the ocean. The plot on the
2 left shows eight-hour ozone concentration, again, 75 percent
3 vehicle penetration, a lot of hydrogen generated in the
4 basin. The plot is actually a Delta, it is a difference
5 plot showing how much improvement or how much worse the air
6 quality is compared to our baseline, and this is, again, a
7 baseline for the year 2060, so it has improved over today.
8 You can see that, in the Riverside area, out towards the
9 east, there is actually eight parts per billion in
10 improvement and an eight-hour ozone. The standard today is
11 75 ppb, so this is nearly a 10 percent improvement due to
12 the hydrogen infrastructure. On the right-hand side, there
13 is a particulate matter plot showing similar air quality
14 results for this time for particulate matter and, again,
15 there is nearly a 6 microgram per cubic meter improvement.
16 And these results were just published in the *Environmental*
17 *Science and Technology Bureau*.

18 Hydrogen displaces petroleum, not a very exciting
19 graph here. It is pretty straightforward. Fuel cell
20 vehicles can significantly lessen our dependence on oil.
21 The year 2030, both the fossil fuel and renewable case,
22 lower petroleum use, and in 2060, similar results. Again,
23 our fossil fuel generation of hydrogen in both cases
24 involves coal, petroleum coke, natural gas, it does not
25 involve any petroleum, so that is why there is no difference

1 between the renewable and fossil fuel cases.

2 Moving on to the market, again, this is in our
3 view a big bonus of fuel cell vehicles over other
4 alternative fuel options. Fuel cell vehicles provide ranges
5 competitive with current gasoline vehicles. And you have
6 seen this already today, several times, Kia Borrego, 426
7 miles, Honda FCX Clarity, 240 miles, Toyota FCHV-adv 431
8 miles, and from what I saw this morning, my numbers might be
9 a little low, actually. That is all I am going to say about
10 vehicles.

11 Moving on to infrastructure. We have a station at
12 UC Irvine. UC is just continually increasing. We initiated
13 the station as a research facility for a fueling and vehicle
14 research, but we have sort of moved beyond that point and it
15 has become the staple of refueling in the area. We are
16 currently operating near our design limit of 25 kilograms
17 per day. It is not uncommon to see two or three cars
18 waiting in line, actually, for fuel. Here is a plot of our
19 usage for the past four years, pretty dramatic increase each
20 year. Currently, as of mid-day last Friday, we dispensed
21 nearly 4,200 kilograms this year, which is already a third
22 more of the total for last year. So we are projecting out
23 for 2009 we are going to be nearly 6,000 kilograms this
24 year, so it is a pretty big increase in fuel each year.

25 You heard earlier today about the Fuel Cell

1 Partnership surveys, sort of a blind survey of the OEM's to
2 say how many vehicles are they going to introduce, and where
3 they are going to put them. The survey shows nearly 40,000
4 vehicles in Southern California by the year 2017. If we
5 plot the row out as produced by the Fuel Cell Partnership,
6 view the graph like this, very little action up until about
7 2014 and there is this huge spike in the number of vehicles.
8 If we do a very crude assumption here of, say, 1 kilogram of
9 fuel needed per car, per day, which is roughly what we are
10 seeing at our station now, and we go one step further and
11 assume, you know, a kilogram of -- a dollar of profit per
12 kilogram, maybe in the early years, early providers to the
13 market can make this profit. In 2013, it is \$330,000 per
14 year profit industry in Southern California, nothing to get
15 excited about, in 2015, \$3.6 million, and by 2017, it is \$15
16 million per year. If you look at the growth from 2015 to
17 2017, as well as the numbers, this seems like something that
18 could be profitable and enticing to fuel providers without
19 government incentive, I would think. I can let them speak
20 to that on their own. But are these numbers realistic? To
21 jump from 40,000 vehicles from 2015 and 2017? Compared to
22 the roll-out of hybrid electric vehicles in the same area,
23 again, this is Southern California, if we overlay these two
24 plots, you can see that the projected number of vehicles for
25 fuel cells are very modest, only about a third as many as

1 were actually sold for hybrid electric vehicles. If you go
2 a step further and look at, say, for the first four years of
3 hybrid electric vehicle sales, there are only two OEM's
4 producing cars. For seven years, there are only three
5 OEM's, whereas we heard this morning from six OEM's, we know
6 there are several others, as well, that are all looking for
7 commercialization around 2015. So the manufacturing
8 capacity and the probability of funding the market for this
9 number of vehicles seems very strong, and I would think this
10 number of 40,000 vehicles by 2017 could even be much higher
11 with the right market drivers.

12 How do we get from 2009 to this potential
13 commercialization? Infrastructure needs to reach a
14 threshold for commercialization. OEM's can only sell
15 vehicles if fueling is sufficient enough for normal day to
16 day requirements. Of course, this leads to the cluster
17 concept, where there are a number of stations in a localized
18 area. U.C. Irvine's STREET modeling tool can optimize the
19 station location in the near term to help overcome this
20 activation energy necessary for commercialization. The
21 modeling tool uses a roadway network optimization algorithm
22 as well as details about land use, travel density,
23 population centers, stakeholder input, and some OEM customer
24 data to help develop our station siting logic. So a
25 blueprint for hydrogen station clusters, if you look at

1 Irvine as a case study, we have applied this analysis to
2 Irvine, it turns out there are 34 gasoline stations existing
3 in Irvine, which is actually just sort of low per population
4 density compared to some areas. Eight well-placed hydrogen
5 stations can sort of reproduce the level of service that
6 those 34 gasoline stations provide, so if we show a map of
7 Irvine, you can barely see the gray outline of the outer
8 areas of Irvine, all the brightly colored areas in Irvine,
9 the two main roads here forming a V are the four or five,
10 and the five freeways give you some bearing as to where you
11 are at. We have placed eight hydrogen stations in here
12 using our optimization algorithm. The red area are places
13 that are covered by a two-minute level of service, so that
14 means that anywhere in that area, you can get to a hydrogen
15 station within two minutes. And this assumes -- this uses
16 real world driving speeds, you know, U-turns, one-way
17 streets, all the actual real travel times. Blue line is
18 three minutes, greenish is four, and yellow is five. You
19 see some areas of this gray that are not covered? Those are
20 actually undeveloped areas of Irvine that do not need to be
21 covered at the present time. To make this a little more
22 quantitative, we can compare the level of service of these
23 eight hydrogen stations to the 34 gasoline stations. You
24 see the bottom right here that 34 gasoline stations means
25 that 73.5 percent of Irvine is within five minutes of a gas

1 station. The eight well-placed hydrogen stations get you
2 66.4 percent of Irvine within five minutes of a hydrogen
3 station, not quite as good, but fairly competitive and we
4 believe this is over the threshold. Where the discrepancy
5 between the gasoline stations and the hydrogen stations
6 begins to show up is down in the three and two-minute areas,
7 where you see at two minutes you are still at 42 percent of
8 Irvine can reach a gas station in two minutes, whereas only
9 24 percent can reach a hydrogen station. So there is a
10 difference, but we believe the eight stations puts you at
11 the threshold. And if we go a step further and add two
12 stations that have been funded, shown here, one being the
13 OCSD station, Orange County Sanitation District, that we are
14 working with air products on, it has been funded by the ARB
15 and the AQMD, and the other station funded by the ARB is the
16 Shell hydrogen station in Newport Beach, and if we add the
17 travel times to those, we can begin to see how this cluster
18 expands, and if we go a step further and add our algorithm
19 to Newport Beach, we can locate five additional stations
20 there to round out the entire area of Newport Beach and
21 Irvine, as developed by the California Fuel Cell Partnership
22 Action Plan with their hydrogen communities.

23 So it is not just enough to determine where the
24 stations need to go, nobody is going to build seven stations
25 in Irvine overnight, we need to have a roll-out plan as to

1 when to put the stations in, and how best to do that. And
2 this is one particular scenario we have come up with where
3 we place stations one by one, and this addresses OEM needs
4 as to where their customer base most likely is, puts
5 stations near population densities first, and you can also
6 see how there is a progression, so there is some redundancy.
7 Oftentimes stations are not working properly, or whatever,
8 there is some redundancy built into this cluster approach,
9 and this just shows the first six stations.

10 So a final slide, what are our recommendations to
11 118 for investment strategies? Infrastructure. No surprise
12 there. Infrastructure planning. Renewable hydrogen
13 generation technology, that has become a bigger issue as
14 more stations need to get rolled out. Technology needs to
15 reduce fueling pressure, this is an efficiency hit and, you
16 know, storage issue that we think could be improved. Fuel
17 cell specialty vehicle deployment, we just heard about that
18 as, you know, all these mentioned markets including
19 forklifts, even buses or trucks to the port, not only have a
20 lot of benefit on their own, but can also help the
21 infrastructure and the technology for the vehicle sides with
22 the personal vehicle sides, as well.

23 Consumer vehicle usage behavior. This is an
24 ongoing subject if we are going to design a fueling
25 structure, do we necessarily want to duplicate what has been

1 done with gasoline stations? We still need some more
2 education as to how best to do this.

3 Hydrometric fuel cell, hydrogen tri-generation, I
4 did not talk much about this, but this is what we are
5 working on at the Orange County Sanitation District, it is a
6 technology that we have developed, that we are very high on.
7 It uses a hydrometric fuel cell to tri-generate heat,
8 electricity, and hydrogen for vehicle fueling, and we can
9 use various things as a fuel for this, including biogas.
10 Hydrogen compression technology. I think there are some
11 improvements that can be done in the compressor efficiency.
12 Hydrogen leak control. I do not see a lot of work going on
13 in these issues in the whole pipeline from generation to
14 delivery to dispensation. And consumer safety goes along
15 with that. Work in odorants or sensors. And last, but not
16 least, weights and measures, which we heard about this
17 morning, not only metering the fuel, but also guaranteeing
18 the quality. That is all I have. If there is any time, I
19 would be happy to answer questions.

20 MS. BAROODY: Thank you very much, Dr. Brown. Any
21 questions?

22 MR. OLSON: Yeah, I have a couple questions. Just
23 going back on your greenhouse gas comparisons, in your
24 renewable source of hydrogen, did you include biomethane as
25 a feedstock?

1 DR. BROWN: We did for a portion of that. I have
2 the details that I can provide if you would like, actually.

3 MR. OLSON: Yeah, we would like to see it --

4 DR. BROWN: Now, I cannot tell you offhand which
5 portion that is --

6 MR. OLSON: If you are willing to share that so we
7 can check it with our pathway studies?

8 DR. BROWN: Okay.

9 MR. OLSON: The other question is about your
10 STREET model. Who are your clients for that right now?

11 DR. BROWN: We do not have any clients, we are
12 doing that independently. We are working with a number of
13 OEMs and providers for feedback, but we are not being funded
14 for it.

15 MR. OLSON: So you do not have any real -- it is
16 still kind of a research project, there is no --

17 DR. BROWN: Well, it is. The background, the air
18 quality modeling and these papers that have been published,
19 that was funded by the DOE CHIP program which included
20 Honda, Toyota, Air Products, that is a past effort, and that
21 funding is expiring or has expired. That was a five-year
22 effort to get us to the point where we are today. The tool
23 is actually extremely useful.

24 MR. OLSON: And does that model have the
25 capability of kind of mapping not just OEM hydrogen fueling

1 demand or need, but also other sources of -- other demand
2 sources for hydrogen and other alternative fuels?

3 DR. BROWN: Absolutely. It is very modular, so
4 right now we have applied it primarily, as I said, to Irvine
5 and/or the State of California for hydrogen, but the
6 versatility would allow us to look at other fuels, as well
7 as the entire pipeline of generation, to delivery, to
8 dispensation for any fuel.

9 MR. OLSON: And to what extent is fuel through-put
10 a significant factor in your model?

11 DR. BROWN: It is not currently because we feel
12 that the early issue is comfort for consumers to have a
13 station nearby, not so much the capacity of the station. We
14 feel that initially -- we have been siting our stations at
15 existing gasoline stations. If you can imagine one pump
16 initially being hydrogen, as capacity becomes more
17 important, a second pump would be made to hydrogen, build in
18 some capability to expand for these stations.

19 MR. OLSON: Okay, thank you.

20 MS. BAROODY: Thank you, Dr. Brown. If we could
21 have the panelists come forward to the tables here, we
22 forgot to call you up earlier. Charles is going to put up
23 the nameplates. Thank you. All set, okay. Next up with
24 Praxair, Tim Busch. Is Tim Busch here, with Praxair? Is he
25 on the WebEx? Maybe he missed the plane today. Okay,

1 moving on. Propel, Rob Elam.

2 MR. ELAM: Thanks and hi. I thought it would be
3 interesting to hear from a pure retailer's perspective on H2
4 opportunities and challenges, so I prepared a few short
5 slides. Propel is an alternative fuel retailer, an
6 alternative fuel retail platform. We have an interest in
7 hydrogen and learning about how we can apply our knowledge
8 taken from other retailing opportunities to the hydrogen
9 challenges. We are currently working on a project with
10 Linde -- Bob, it is nice to see you today -- SFO that was
11 funded by the ARB solicitation earlier this year. So we are
12 in that process. I think ultimately we have talked today, a
13 lot of discussion about the need for alternative fuel
14 retail, and for hydrogen retail locations, specifically.
15 But I think there is a question of who should take the risk
16 here and what are the costs associated with it. When you
17 ask a station owner or a retailer to take the risk
18 associated with opening a hydrogen fuel station, I think we
19 get a number of reasons why that is a difficult expectation.
20 The technology is very new, obviously, the operation and
21 maintenance costs of these facilities have not yet been
22 defined, and the ability to retail the fuel and demand are
23 really not yet clear.

24 When you talk to a fuel retailer, you will hear a
25 lot about unit economics, and from a unit economic

1 perspective, the three essential factors for a retailer are
2 what are the costs associated with the equipment and
3 overhead, the costs of managing and running the site, what
4 is the volume of fuel that can be sold and the margin
5 associated with that volume, which gets you to a break even
6 point of how many gallons -- how much margin do you need and
7 how many gallons do you need to sell to be able to cover the
8 costs associated with running the site. Above and beyond
9 that, then you have the opportunity to actually get
10 profitable for the site. Taking the assumptions as we know
11 them today, if you are talking about opening a site that had
12 50 vehicles associated with it, I think that we saw earlier
13 there was an expectation for a dollar a kilogram profit,
14 which would be, as a gallon equivalent unprecedented, but as
15 we see the actual need from a break even point of a 50-
16 vehicle station based on the data that we have from the
17 other alternative vehicles that we currently serve, we would
18 have to sell to cover all of our costs the fuel at
19 approximately \$101.00 per kilogram. So to sell the fuel for
20 \$102.00 per kilogram and make that dollar profit is actually
21 from a marginal -- that is probably achievable, but
22 ultimately nobody is going to pay \$101.00 a kilogram, and we
23 know that. I have my cohort out there, but he does not have
24 the right copy of our PowerPoint either.

25 So I guess fundamentally what we would look at

1 from Propel's perspective at this point is we do not have
2 enough definition into really what the costs are, what the
3 market looks like, we have worked with the fuel cell
4 partnership to understand what the OEM's are talking about
5 for vehicle roll-out's, we think that the concept behind the
6 clusters in Los Angeles is a good one, and that that is the
7 right approach, but we need to understand more from a
8 retailer's perspective to be able to step forward and really
9 make that commitment to operate a site. And in the absence
10 of that information, or even more well prepared with that
11 information, we would still be talking about costs that
12 would be largely -- the economics would not work from a
13 business perspective. And I think we all -- if we look
14 around and say, "Who is going to bear that risk? Where are
15 those costs going to be covered?" I think we know that the
16 private sector, investment sector, is not in a position
17 right now to fund hydrogen, and they have traditionally, you
18 know, there had been a period where they did fund a number
19 of aspects of hydrogen, they have sort of fallen off that
20 wagon a little bit, we need to know a lot more to be able to
21 go back with a fundamentally sound business case to be able
22 to get the private funding community back into the hydrogen
23 game here. So, from a timeline perspective for us, we would
24 like to see -- we are about a year, best case scenario, away
25 from being able to open up the station at SFO. Bob, do you

1 think that is about right?

2 MR. BOYD: Yeah.

3 MR. ELAM: So in about a year we will have a new
4 station with latest and greatest technology that is public,
5 and the other stations that were funded through this year's
6 ARB funding scenario should also be opening around that
7 time. We would then have the opportunity to gather real
8 world data with new updated equipment, get more current
9 operational maintenance costs associated with managing those
10 sites. We would like to see about a year's worth of data to
11 be able to really understand what we are looking at from a
12 risk perspective, from a capital deployment. So,
13 realistically, two years from now would be when we think we
14 would have the appropriate data to really look at starting
15 to -- I would not even say "scale," but starting to get out
16 of the R&D perspective, and into a more functional,
17 reasonable model for public access to hydrogen stations.
18 And moving faster than that, it would be difficult for a
19 company, a retail focused company like Propel, if not
20 impossible at this point, to be able to take the risks
21 associated, even if the State of California paid every dime
22 of the cost of the station, which in itself seems to be a
23 bit of an undue burden at this point.

24 So sorry I did not have my full PowerPoint here,
25 so a lot of that last part was off the cuff, but Propel is

1 very interested in helping to unlock the barriers to
2 widespread hydrogen roll-out, it is extremely costly, there
3 are not a lot of vehicles out there right now, we have seen
4 some movement that looks encouraging in that direction, but
5 we think we need to be measured in our expenditures towards
6 the retail side of things until we know a little bit more.
7 I would be happy to take any questions.

8 MS. BAROODY: Thanks, Rob. Go ahead.

9 MR. MUENCH: Rob, thanks for being here today.
10 You may have touched on some of these issues already, but
11 let me ask the \$64,000 question, within the next three to
12 five years, how can we assure that private partners and
13 investment are present to back-out the need for continuing
14 public funding, which is becoming increasingly untenable and
15 politically unsustainable?

16 MR. ELAM: For hydrogen, specifically?

17 MR. MUENCH: Yes. What is your take on that?

18 MR. ELAM: That is a good question. You know, I
19 mean, I think we need to see -- and let's clear the
20 definition between when you say private funding -- there is
21 the sort of investment capital side of things, and then
22 there are the investments made by the companies that are in
23 the industries themselves, towards the objectives. You
24 know, I think that, as we know more, as we have more data
25 points towards the true costs, and begin to see real

1 progress towards lowering those costs, and towards the
2 efficiencies of scale, the private sector will begin to look
3 again at the opportunities. Believe me, if the opportunity
4 is real, aggressive investors will begin to put money into
5 the sector. The challenge is what metrics do they need to
6 see to believe it is real, and how do we show them with
7 credibility those business models? And I think we just need
8 some time to collect the data to be able to do that.

9 MR. MUENCH: Thank you.

10 MR. OLSON: So, Rob, just to kind of follow-up a
11 little bit on that, one of the -- we want to explore this in
12 a lot of ways, and we appreciate your just willingness to be
13 here to talk about this. Part of the thing we are finding
14 is, if government is funding 90, 80, 70 percent of all
15 infrastructure, and then including operating costs, which
16 can be every year pretty significant, and the cost of the
17 systems for kind of permanent retail could be approaching
18 \$3, \$4, or \$5 million per site, are there any things that we
19 should explore from your view that might be -- well, I guess
20 the goal for us as government, how do we get this to the
21 point where, like we are with other fueling infrastructure,
22 covering a 50/50 type of investment what for the most part
23 is one percent of the marketplace right now; we hope that
24 expands. And so we have heard some things today, for
25 example, little hints of things that fuel through-put may be

1 a factor in this, that if you can boost this station from 25
2 kilograms a day to 500, 400, and then we are hearing some
3 that it could be close to 1,000 in terms of users, and also
4 keeping in mind that some of the users are going to be -- I
5 am not saying that this is particularly one specific site,
6 but some of the users are going to be medium duty buses,
7 transit, trucks, others are going to be passenger vehicles,
8 is there anything in that area that could offset some of the
9 risks, if you can get more concentrated through-put, and
10 these cluster kind of options?

11 MR. ELAM: Yeah, I think absolutely. I mean, I
12 think it makes sense -- today you see the successful
13 projects as far as through-put are primarily based around a
14 fleet usage environment where the vehicles can be procured
15 by a single source. Generally they are oriented as far as
16 their traveling around, you know, to a base of operations,
17 so for filling -- I think that has come up a couple of times
18 today, as a sort of public-private, maybe half in the fence,
19 half out of the fence, the question that has a good solution
20 from a cost-share perspective, the question that is in there
21 is how many of those locations are ideal for public access.
22 And then that is where it becomes more problematic because,
23 generally, vehicle storage bases are not in public locations
24 by design, so I think we could look at the opportunities
25 around that and it sounds like there are a couple of

1 opportunities on the table in California that would make
2 sense for that type of an initiative.

3 MR. OLSON: And are there options that, from your
4 view, can other fuels that you might sell in a fueling
5 station, can that carry the lesser volume of hydrogen that
6 might occur?

7 MR. ELAM: Right, as a sort of portfolio of fuels
8 from a single site. I think it would be difficult. Every
9 one of these fuels, even the most well established, still
10 have serious economic challenges. To ask something like
11 even E85 ethanol to bear the cost of hydrogen on a site, I
12 do not think would be -- it would be very difficult to make
13 that economic argument. I mean, it is clear that even fuels
14 like biodiesel and ethanol which have relatively large
15 embedded vehicle numbers compared to something like a fuel
16 cell vehicle are barely getting over starting to see a path
17 forward to be profitable and have a viable economic model.
18 So it would be difficult to pull those margins backwards to
19 support hydrogen on a site. You could get efficiencies
20 potentially on OEM, get efficiencies on real estate cost,
21 you could have some efficiencies around marketing, but the
22 actual cost of the equipment the number of vehicles, the
23 cost of hydrogen of the fuel itself would be unaffected by
24 the efficiencies that you could potentially gain by a sort
25 of platform approach to a retail station, although we are

1 certainly working very hard at understanding how we could --
2 how those numbers could benefit hydrogen. We just simply do
3 not have enough data at this point to be able to make a
4 strong economic case. And, as we all know, in this day and
5 age, making a strong economic case is critical. People are
6 very risk adverse right now in the capital markets.

7 MR. OLSON: And another kind of question, similar
8 line of thinking here is, to your knowledge, is there an
9 advantage if hydrogen is available at a cheaper price than
10 gasoline, diesel, other fuels, is there anything there that
11 can offset some of the risk?

12 MR. ELAM: Potentially. It is interesting, I
13 mean, I think the research that we have seen in the data
14 points there are around cars that are flexible fuel by
15 nature. So if someone has a choice to put a petroleum
16 product in, or has a lower cost, you know, of gasoline
17 versus ethanol, biodiesel versus diesel, but there is a
18 choice and they can always switch back, when someone
19 purchases a hydrogen vehicle, they cannot put any other fuel
20 in there, so price needs to be a driver in the purchase
21 decision, but then they are essentially stuck, right, with
22 whatever the pricing scenario might be. So I am not sure
23 how reducing that price when they make the purchase
24 decision, I am sure they would want to see some
25 predictability of what their fuel costs would be going

1 forward because you would really be stuck then, right, if
2 you had a hydrogen car and the prices went through the roof.
3 So you would want to have some sort of predictability, I
4 would guess, but I do not know if dropping it 20 percent
5 would help. And I am not sure ultimately for a retailer
6 that margin is even visible at this point, you know, to be
7 able to see where those positive -- potentially positive
8 economics could come.

9 MR. OLSON: And we are aware that you have a
10 relationship with Shell for your E85 islands, and both Shell
11 and Chevron have had an interest in this hydrogen in the
12 past. If they have a renewed interest in this area, and
13 they could offset some of the risk, would you be a partner
14 with them? Would you consider a similar kind of partnership
15 like you have with the other fuels?

16 MR. ELAM: Absolutely. I would not want to speak
17 for the hydrogen industry, but I think we are all looking at
18 any productive partnerships, any and all productive
19 partnerships should be on the table.

20 MR. OLSON: Very good. Thanks for your comments.

21 MR. ELAM: Thanks, Tim.

22 MS. BAROODY: Thanks, Rob. Okay, next up with
23 Linde, Michael Beckman.

24 MR. BECKMAN: Okay, thank you. Yeah, my name is
25 Mike Beckman and I am with Linde. I run our western region

1 and, as such, a lot of the alternative fuels activity goes
2 on in California, which is what I manage. So I am going to
3 talk a little bit today about the infrastructure and what
4 Linde is trying to do. I first have to say, it is exciting
5 to hear a lot of the enthusiasm in the room from the
6 speakers previous to me, that talk about what they are doing
7 from an OEM side, with the number of cars that are going to
8 be out there in the future, and the money that is being
9 spent on R&D to deploy those cars, as well as other
10 infrastructure suppliers, and that is going to help the
11 industry overall, so we are all for that.

12 My first slide is, I am not going to go into too
13 much here, you know, from our perspective, we look at the
14 competing technologies and we are obviously in a lot of
15 different alternative fuels, we have got an LNG plant that
16 we are bringing under commercialization, and some other
17 areas. Hydrogen is one of those, and as hydrogen competes
18 against other technologies in the automotive industry, you
19 know, we see this as a clear winner down the road. You have
20 heard these things before around comparing electric drive
21 vehicles, and battery electrics, you know, today it is
22 pretty clear that the long range goals are going to be met
23 with hydrogen, I think that is just really what I want to
24 say here. Batteries weigh more, take up more space, more
25 greenhouse gas production, especially when you look at the

1 current mix of our grid today with electricity, and of
2 course, the cost is more. So we see this as a winner and we
3 are here to support the infrastructure, and we are doing a
4 lot of exciting things around that. I will mention some of
5 those things here today.

6 You know, we see advances in infrastructure as the
7 way to commercialization here, and I think it is fair to say
8 that there are some things that will help us along that
9 path, I will talk about those here. We have made some
10 advances around commercial technology that meets the retail
11 expectations here, and when we say fueling is one of those,
12 you know, I think what we have seen in the past in our
13 industry is, whether it is here in the U.S. or in Europe, or
14 other places overseas, is that the initial stations were
15 kind of exploratory demonstration stations that, while they
16 have got hydrogen in the tank, they did not do so in a quick
17 manner that really met retail expectations. And I think
18 that, going forward, what Linde is trying to focus on is
19 really release aid and above. And release aid kind of
20 standard is 5 kilograms in three minutes, the ability to
21 fuel multiple cars in succession, and up to four or five
22 cars in an hour. And, really, yes, the initial stream of
23 cars when you have five cars fueling at a station in Irvine,
24 it is okay to maybe wait behind one car. When we start
25 ramping up and have 10 and 20 and 30 cars trying to fuel at

1 one station, and even more, 100, it is going to be pretty
2 upsetting to the consumer to be able to stand in line and
3 wait for 25 minutes to fuel their vehicle. So we are trying
4 to address that problem with some of our technology, and we
5 have got stations out there today deployed in Germany and
6 elsewhere, that are already meeting that standard.

7 Any kind of technology like this in an
8 infrastructure roll-out obviously, you know, Tim is talking
9 a lot about cost, well, how do you get that cost down? You
10 know, clearly there has got to be incremental change in our
11 efficiency, in our cost to provide the components necessary
12 to do the infrastructure, but then also there is typically
13 step change in when there is roll-outs of this type of
14 technology, and we think that within Linde we have got a
15 step change technology called ionic fueling, or ionic
16 compression technology, which is really our next step. Now,
17 we are doing this already with forklift truck fueling, and
18 David mentioned that with the plug power, and we see this
19 coming with automotive and bus fueling, and so forth, down
20 the road, too. And, really, this technology is all about
21 making it more cost effective, reducing costs, both O&M
22 costs, and operational costs, and maintenance cost. And,
23 you know, the ionic compression technology is volumetrically
24 efficient, isothermal compression, contamination-free, it
25 really helps us achieve the conversion of electrical energy

1 into power, into compression, gas tight system, we really
2 think this is going to help us kind of get that next step.
3 Now, we are not there today with cars, and that is going to
4 take a little bit of time. We need to deploy the existing
5 systems today that are in commercial operation, and then get
6 to this point.

7 I will give you an indication of what that means.
8 Again, kind of focusing on the cost piece, you know, we see
9 today indicative cost reductions in these areas, just with
10 our first systems, of around 30 percent total. So you can
11 see kind of the different cost components there from a
12 capital standpoint up top, you know, through the OpEx and
13 then maintenance pieces, and each of those are significantly
14 reduced with this type of technology. We want to make it
15 bigger, we want to make it cheaper, and this is going to
16 help us to get there.

17 You know, this is the standard business school
18 graph of more cars helps it make it more efficient, you
19 know, you have got really the name of the game is we have to
20 be able to spread our technology, spread that infrastructure
21 cost over more vehicles. Today we are looking at, you know,
22 five, ten vehicles per station, in the future we have got to
23 look at 100 to 200 vehicles per station. Clearly, the costs
24 will come down significantly in that alone, but also, as we
25 deploy more of these stations, the components will become

1 cheaper, we will achieve economies of scale with more mass
2 production, we buy in bulk some of the key components such
3 as the compression, the storage, and so forth, and that
4 helps drive cost down overall. Clearly, that is where we
5 want to get to. Now, today, obviously we are not there. To
6 be able to get to that point, as a big industrial company
7 with multiple avenues to invest in, we are not going to take
8 that investment on loan and we need government support to be
9 able to do that, as I think you have heard here from others.

10 As you look at kind of how these are deployed into
11 the future, you know, one of the issues is that, as you move
12 into -- you take Dr. Tim's presentation around Irvine, and
13 he talked about putting five or eight stations to cover all
14 the City of Irvine, well, that is fantastic, but the problem
15 with that is that you have to put 100 kilograms a day
16 station in, again, that is going to serve two or three cars.
17 So how can we as an industry, as infrastructure providers,
18 how can we do that more efficiently? And so, at Linde, we
19 are looking at ways to get the stations in more cost-
20 effectively, time to go to the next slide with this, we are
21 looking at -- well, let me back up a second -- there are
22 some things we can do to help kind of address that problem,
23 and I will talk about a couple of those. The first and
24 foremost, again, is quicker ramp-up of cars, and I think the
25 boys from the automotive companies are going to be able to

1 do that, as they talked about today. But the next thing
2 that we are looking at doing is making modular designs. So
3 if we can -- and scalable designs -- if we can deploy
4 stations that are easy to put in, so kind of a station-in-a-
5 box concept, which is really what our San Francisco Airport,
6 our initial station that is going in, is going to be, very
7 easy to deploy, so it reduces the infrastructure cost and
8 the time to install it, but then we make it so that we can
9 add additional storage, upgrade the pre-cooling so that we
10 can take a station that serves, say, 100 cars a day, or 50
11 cars a day, and very quickly and easily, as those cars ramp
12 up and the demand ramps up, be able to adjust to that. So
13 that is one thing that we can do, and we are looking at
14 being able to do that. We also want to make stations that,
15 again, can be easily deployed, but then easily redeployed.
16 So you take a station that is perhaps suitable for 50 or 100
17 cars, as that demand ramps up in a certain area, we will
18 redeploy that station to another area, and put a larger
19 station in. We want to be able to do that cost-effectively
20 and, again, this has kind of been our approach and our
21 thinking along these lines.

22 I guess, kind of in closing here, yes, we want to
23 deploy these stations. We need government support to do
24 that. We still have some challenges to overcome, and Alex
25 with GM kind of mentioned one of those, which does not get

1 talked about a lot, but we have got some significant issues
2 around permitting, for instance. You know, you talk to
3 anyone who has put in stations today, or is in the process
4 of putting stations in, and that is a laborious process
5 that, frankly, the cost going into that as we model this are
6 somewhat unknown. It can add tens or even fifty --
7 thousands of dollars to the station deployment and it
8 extends the time to deploy by months, if not longer. That
9 is one area where I think government can assist. Again,
10 these are areas that can be overcome. The Codes and
11 Standards piece, and commonality around that, a lot of work
12 being done there, that is also an area that can be worked
13 on. You know, we see that over the next several years, with
14 additional station deployments, with us, as well as other
15 infrastructure providers, we are going to continue to
16 improve that efficiency and the cost will come down, but,
17 again, initially government support is going to be needed
18 for the next several years at the same levels we see today.
19 So any questions?

20 MR. MUENCH: Tobias Muench, Energy Commission
21 staff. Essentially, you have touched on some of this, but I
22 would like to ask you the same question that I asked before,
23 and I am going to repeat it. Within the next three to five
24 years, how can we make sure that private partners and
25 investment are present to back-out the need for continued

1 public funding which is becoming increasingly untenable and
2 politically unsustainable?

3 MR. BECKMAN: Yeah, I guess the first thing you
4 could do is increase the price of gasoline significantly.
5 You know, all kidding aside, we look at this in Europe and
6 they pay four times more for a gallon of gasoline. The
7 hurdle rate to overcome that, obviously a lot of that is
8 government taxes and so forth, but the hurdle rate to
9 overcome there is significantly lower. And the expectation
10 from the consumer is that they pay more for an equivalent
11 gallon to go 100 miles. I mean, that is one of the first
12 things that we could do. I heard it from, I think, Jim Boyd
13 at one of the conferences I was at a few months ago, who
14 talked about -- it might not have been him -- but somebody
15 was talking about putting a ceiling or an artificial floor
16 on the price of gasoline through taxes to support some of
17 the alternative fuel investment. That is one thing the
18 government could do. You know, gasoline is going to go up,
19 our efficiency is going to increase as we deploy more
20 stations. You know, we have deployed only a handful of
21 stations in the States. I mean, to be fair, we have got to
22 deploy 10, 20, you know, 50 stations before that becomes
23 significantly down to a point where it is commercial and
24 stand alone. That is not to say that the CEC or California
25 should bear the burden of investing at the same levels they

1 do today, that burden, we would expect, would come down as
2 we pick up more of that. Again, this is going to come with
3 additional deployments, though.

4 MR. MUENCH: Thank you.

5 MR. OLSON: Mike, I wanted to ask a question about
6 your manufacturing here, and maybe I should have described
7 this earlier, it is part of our program of opportunity
8 solicitations we will be putting out soon and one
9 significant initiative will be a kind of expansion,
10 retention, recruitment of manufacturers primarily on
11 electric drive, but it really could be across the board on
12 any fuel technology. And the nature of that would be -- it
13 is a job creation, job sustaining type of activity. We are
14 willing to put money into expanding your ability to increase
15 manufacturing, component parts, batteries, whole vehicles,
16 systems, and so part of that is it has got to be in
17 California, and we want -- if any of you are interested in
18 this, we definitely want to talk to you about this process.
19 And I guess that is it. Are you planning anything here that
20 is either assembling or manufacturing of any of the
21 component parts or whole systems?

22 MR. BECKMAN: Yeah, so certainly there will be
23 some assembly here in California, I mean from a jobs
24 perspective. Every time we deploy a station, obviously
25 there will be infrastructure jobs that will be created

1 because of that. We have got operation and maintenance
2 personnel that, as we build out our capacity to be able to
3 service these stations and deploy them on a wider scale,
4 clearly we will drive what we would see a green jobs
5 associated with those deployments and the upkeep and
6 maintenance of those stations. We have got partners in the
7 states, perhaps not in California, that we work with to
8 Americanize these stations and to build some of the
9 components and to assemble them, so that is where we are at
10 right now, and we are continuing to look for additional, I
11 guess, U.S. grown infrastructure and deployment.

12 MR. OLSON: Another question I have is, is there
13 any issue at this point on the kind of standardization, if
14 you want to call it that, the 350 bar, 700 bar option, so we
15 know, for example, Honda, their Clarity is really designed
16 for 350 bar pressure. From your view as a fuel supplier,
17 any issue there that is unsolvable?

18 MR. BECKMAN: No. Absolutely not. I mean, you
19 know, certainly there is a little bit more cost associated
20 with higher pressure, I mean, I guess that is common sense,
21 but we think that with the technology that we have, that
22 cost is not that significant, and our approach is to design
23 stations that would meet multiple technologies and meet the
24 needs of multiple OEM's as they design their cars, fuel cell
25 vehicles. And so, from our standpoint, no, I mean, we are

1 going to adapt to what the industry needs, and we do not see
2 any insurmountable hurdles there, nor do we see that as a
3 gigantic cost adder.

4 MR. OLSON: Okay. Thanks a lot.

5 MR. BECKMAN: Thank you.

6 MR. BAROODY: Thanks, Michael, for your
7 presentation.

8 MR. MUENCH: I have another short one. I am
9 sorry. Can you say a few words to Linde's involvement and
10 philosophy ideas about renewable --

11 MR. BECKMAN: Yeah, I mean, so from our
12 standpoint, obviously that is the Holy Grail -- how do you
13 get renewable production? And we are looking at some
14 methods to be able to do that today, nothing I could speak
15 of specifically, but we are exploring that area and we have
16 had those discussions. You know, there are some obvious
17 paths that are out there, there are some economic issues
18 with those today, you know, things that we think can be
19 solved. If you stand back a second and look at when these
20 hydrogen production -- we have got one of the only plants in
21 the world that really is a renewable hydrogen plant today in
22 our Magog Plant in Canada, which is a byproduct from a
23 sodium chloride production, and is driven by a majority of
24 hydroelectric power up in Canada. So we are already kind of
25 meeting a need. Now, it is not recognized as such by the

1 GREET modeling, we would like it to be, but the fact is that
2 that is really green hydrogen today. So we are looking at
3 other opportunities like that, as well.

4 MR. MUENCH: Thanks much.

5 MS. BARODY: Thank you. Okay, Airproducts, Ed
6 Heydom.

7 MR. HEYDOM: Thank you, everyone. I am pleased to
8 be here to talk about Airproducts' perspective regarding
9 hydrogen infrastructure and the impact on the planning going
10 forward regarding the investment development for AB 118.

11 Just a quick overview of Airproducts. We are the
12 largest merchant supplier of hydrogen in the world. We
13 produce about 2 billion cubic feet per day, worldwide. We
14 have been involved in over 100 hydrogen energy projects
15 since 1993 with stations around the world, but with a strong
16 focus in California. We have talked a bit today about --
17 and there have been references -- to low cost ways to
18 produce hydrogen, and how do you get there. And as some of
19 the speakers have mentioned, there are already ways today to
20 produce hydrogen at the point of use at low cost, at
21 attractive cost for use in transportation fuels. And most
22 of those focus on central production -- large facilities,
23 economies of scale, again, just some of the points that
24 previous speakers have mentioned. The challenge is, how do
25 you get that low cost molecule to the point of use? One low

1 cost way that has been mentioned is by pipeline, where those
2 assets make sense based on the volumes that are being
3 distributed. But hydrogen can also be distributed by truck,
4 either as a liquid or bulk, and there is also some specific
5 hydrogen fueling products that we have developed to meet the
6 emerging fueling market. We have also looked at distributed
7 hydrogen production from a variety of sources and there are
8 opportunities worldwide where that would also make sense for
9 hydrogen.

10 But what we have been focusing on in the past few
11 years is looking at ways to look at delivery systems for
12 hydrogen, getting it to vehicle fueling. We have done work
13 back in the early part of this decade, looking at on-site
14 reforming, we have looked at electrolysis, we have looked at
15 other modes, and now we are looking at trying to get some
16 learning on some other means of providing hydrogen. Tim
17 mentioned the UCI station, which Airproducts provided under
18 a DOE program, and that is supply by liquid delivery system.
19 We are developing a station off of the existing hydrogen
20 pipeline in Torrance with Shell Hydrogen, looking again as a
21 means to try to provide that low cost molecule into a
22 refueling station environment, trying to get that learning
23 as to how you do that and what ways you could scale that up.
24 And then something called "pipeline delivered," which is the
25 station that ARB funded, what we call South Torrance or

1 Harbor City, looking at ways to move the molecule from that
2 low cost point of production into a retail gasoline
3 environment.

4 So those are some examples of trying to take
5 advantage of existing assets. We are also, as Tim
6 mentioned, the lead in developing the project with ARB and
7 DOE at Fountain Valley, California, Orange County Sanitation
8 District, which is the incorporation of the high temperature
9 fuel cell coproducing electricity, hydrogen, and heat, and
10 that system is going through shop testing at the fuel cell
11 provider's location, Fuel Cell Energy in Danbury,
12 Connecticut, and then we will be bringing that online next
13 year.

14 Now, people have mentioned why hydrogen, and this
15 is just our view of the benefit on a well to wheels basis,
16 that hydrogen, as you look at all modes of production,
17 distribution, is going to be the clear winner from an
18 environmental basis. It also has the advantages of
19 sustainability with respect to other fuels.

20 What I thought I would do today, to talk about --
21 since you have the challenge of coming up with a plan going
22 forward for the funding through AB 118, is to first take a
23 look back at some of the earlier programs that have
24 happened, and to try to glean some lessons learned out of
25 those activities. And what we have seen is that, in a lot

1 of stations, most of the station capacities exceeded the
2 early vehicle demand, which made sense because, you know,
3 they were normally designed for one or two cars at the
4 outset, and just doing some economics of the deployment of
5 those stations, those stations were oversized. So in any of
6 the programs, you have to think about underutilized assets
7 that you measure as you go forward, I think.

8 As I mentioned, we looked at multiple options for
9 production and delivery, as some of the other participants
10 say in the DOE Tech Validation Program. Now, some of those
11 we probably should be looking to eliminate just because of
12 cost and scalability, as we have talked about today, you
13 know, the key to get to is what the future is, and how
14 quickly you can get there. And our engineering folks have
15 told us that some of the smaller station configurations, you
16 can end up with over 19,000 different configurations. We
17 are all driven by productization and coming up with a
18 standard approach. So as you go to larger stations, lower
19 cost solutions, you are probably going to get down to those
20 fewer options, and the key is to try to get to that as
21 quickly as possible. And what we have seen is that the low
22 cost production methods at the existing facilities and can
23 be used today for the transportation market, and for a
24 funding agency, that means minimizing additional funding
25 based on taking advantage of existing capacity within the

1 systems where they exist, and they do exist in California.
2 And the key is really the supply chain. How do you get it
3 from that point of use where it is used in industrial
4 applications into the retail fueling market.

5 Now, renewable sources, as I mentioned, our
6 project at Fountain Valley, that is one aspect that we are
7 looking at, but those need to be also developed. As Mike
8 mentioned, there is probably some cost impact compared to
9 conventional steam methane reforming in the early years, and
10 then you have to also figure out how to move those molecules
11 if they cannot be dispensed at the point of production.

12 So the first thing I would say is focus, stay
13 focused on what the objectives are moving forward. You have
14 heard talk from the OEM's and the other suppliers today that
15 critical mass is important, both on the vehicle side and the
16 station side, we support the cluster concept and the work
17 that California Fuel Cell Partnership did with regards to
18 the Action Plan, it is a good step and it has helped, I
19 think, all of us to be able to understand the plans for
20 roll-out of vehicles, maybe not the specific numbers, but
21 also to understand how those vehicles can become just in
22 terms of production techniques on the vehicle side. So
23 critical mass is going to be a key component. And then
24 target the geography, and Southern California, as everyone
25 has said today, makes a lot of sense for a key geography,

1 although there are opportunities in other parts of the
2 states, in other parts of California, depending on the
3 vehicle deployment plants. Obviously, SB 1505 has to be
4 considered as a key component of this.

5 We like the opportunities to try to deploy at
6 retail gas stations because of the ability to gain customer
7 acceptance more quickly. If there are opportunities to come
8 up with stations, the dual use facilities, certainly that
9 makes sense. But in the dialogue I have with the OEM's and
10 the feedback they get from their users, you clearly hear
11 that the retail fueling environment is what people are
12 looking for. So we have to continue to drive to overcome
13 the hurdles that Rob mentioned earlier today.

14 You have to install sufficient stations in order
15 to make the step change that Tim and Mike had mentioned
16 earlier. You should look for opportunities, again, as Mike
17 mentioned, for mobile stations, to get some of the economies
18 of scale and to get the infrastructure out all at once, and
19 to continue to look for opportunities to develop those
20 relationships and the installation of those stations.

21 You need to manage capital infusion at the station
22 operator. Good thing I was not working on this when Rob was
23 giving his remarks, but that is clearly a component, is the
24 risk management for the station operator because, at the end
25 of the day, they have the largest at least public exposure

1 and potential for financial exposure if stations are under-
2 utilized.

3 Infrastructure should really meet some key
4 criteria. It needs to be scalable so you can go from the
5 low volume periods during this 2010 to 2015 timeframe up to
6 when there is full deployment. The infrastructure should
7 look to minimize that site investment at the point of use.
8 It should consider systems that provide value today for
9 applications maybe beyond traditional light duty vehicle
10 fueling. That way, if there are delays in the market, or if
11 there is, depending on the roll-out time for vehicles, there
12 are opportunities to redeploy those assets, so it minimizes
13 the idle asset capital for all of the funding participants.

14 And then, obviously, the program has to think
15 about going forward when there are tens of thousands of
16 vehicles in the 2015 to 2017 timeframe -- station sizes, you
17 know, 500 to 1,000 kilograms a day are probably sustainable
18 from the business case standpoint, and that will be the time
19 as we move away from the government incentives during the
20 early deployment period, and more into a standard business
21 case when we start looking for tax incentives and other ways
22 to continue to sustain the industry. But I think that is
23 key, to look at those opportunities where it is not the time
24 to deploy very small stations that have no opportunities for
25 growth if we are going to meet the demand requirements that

1 the OEM's have talked to us about today. We need to be
2 looking at ways to get to those large stations very quickly,
3 otherwise, when the tens of thousands of vehicles arrive, it
4 will be a challenge for the infrastructure providers to be
5 able to provide that on an ongoing basis.

6 So those are my remarks. I tried within those to
7 answer the questions that were included within the packet
8 that was sent out. So I look forward to questions, and
9 thank you for your attention.

10 MS. BAROODY: Thank you, Ed. Any questions?

11 MR. OLSON: Yeah, this is Tim Olson.

12 MR. HEYDOM: Hi, Tim.

13 MR. OLSON: So, when you kind of look across the
14 development stream of this of this, is there -- what is the
15 best point where you are going to get cost reduction, cost
16 break? It is probably not going to be in vehicles,
17 infrastructure we have heard here today that there are a lot
18 of challenges there; what about on the fuel? Is there a
19 chance that you are going to have -- that you can produce
20 hydrogen that is going to be cheaper than other fuels?

21 MR. HEYDOM: I think there was talk today about,
22 given the price spread today between natural gas and
23 petroleum fuels, that on a per -- we will call it on a per
24 mile or per kilometer use within the vehicle, that hydrogen
25 is made today that can support vehicle infrastructure at an

1 equivalent cost per kilometer compared to gasoline. So the
2 question is really scale, and how you get it to the point of
3 use. So there is no real surprise as to how to do that,
4 what we have to do is incorporate the renewable component
5 into our hydrogen production infrastructure going forward
6 and obviously we have that requirement in California, and we
7 will be looking to meet those requirements, both for State
8 requirements and also specific to SB 1505. So we are not at
9 the point -- I think most of it is now -- any of the cost
10 issues are, again, small stations that have high unit costs
11 for components such as maintenance, delivery, items that, if
12 you look at gasoline stations, those items get blended out
13 in most, you know, when I am at my local station, there are
14 always dozens of cars that are filling up, so those costs
15 can get merged in, so you are looking at technologies that
16 can come to that low cost, but also getting enough volume to
17 be able to spread those costs out across a number of users.

18 MR. OLSON: And can you just elaborate a little
19 more about the SB 1505? Can you produce renewable hydrogen
20 today and at a price where you can sell it?

21 MR. HEYDOM: Yes.

22 MR. OLSON: That would be from your pipeline
23 stream or other --

24 MR. HEYDOM: Well, we are evaluating from all
25 points of production -- again, because part of it is supply

1 chain, at both the point of production, and then the final
2 point of use. So you cannot just look at it at one
3 location, at the specific point. The pipeline has obvious
4 advantages because of the scale of the system, but we are
5 looking at renewable hydrogen at various locations in order
6 to serve different markets. And, again, the total cost will
7 be the sum of that cost of production, cost of distribution,
8 and the cost of dispensing.

9 MR. OLSON: And that feedstock, is that feedstock
10 biomethane?

11 MR. ELAM: It can be. That could be something
12 that --

13 MR. OLSON: Or wastewater treatment?

14 MR. ELAM: It could be. The wastewater treatment
15 concept through the multi-carb fuel subsystem, that is part
16 of the ARB project, the ARB DOE project that we are
17 evaluating, and to see how that would fit into a supply of
18 hydrogen on a renewable basis.

19 MR. OLSON: Can you make that in sufficient
20 quantities to match the roll-out of vehicles?

21 MR. ELAM: That is part of the key is to be able
22 to obviously get to scale. That system at Fountain Valley
23 is sized for 11 kilograms a day. Again, that is really just
24 the demonstration of the technology. Clearly, going to
25 greater scale is better from the power production side of

1 that system, and the power economics still have to work on
2 those and still -- and electricity generator by nature that
3 co-produces hydrogen, it is not a hydrogen system that also
4 makes electricity. So you need to have the right mix of
5 power costs and hydrogen pricing. But clearly, scale on the
6 fuel cell makes sense and scale on the hydrogen side would
7 also make sense. But I think we are looking at systems --
8 fuel cell energy has a fuel cell product that produces
9 nominally 2.8 Megawatts, so part of our evaluation is
10 looking at co-production of hydrogen off of systems of that
11 scale, so that would be over a ton a day of hydrogen,
12 easily.

13 MR. OLSON: Very good. Thank you.

14 MR. WARD: I have a question. Regarding the --
15 you mentioned scalable several times in your presentation
16 and I am wondering, under the present definition of 1505,
17 you are not making that renewable hydrogen, there still
18 would be requiring a regulatory fix there to make it more
19 energy logical?

20 MR. HEYDOM: That is a loaded question. No, I
21 will answer a different question than try to answer that
22 one. We are looking at the broader application of energy
23 and what is the best use of renewable sources, so when there
24 are opportunities where it makes sense to produce hydrogen,
25 then that is the right thing to do, and that is the type of

1 project that we are looking to participate in. If there is
2 better uses for that renewable component, or if there are
3 other needs for it, then obviously we are competing against
4 that, but I think that is my answer so far.

5 MR. WARD: Would you suggest a clearer path to
6 renewable hydrogen than the one presently contemplated under
7 1505?

8 MR. HEYDOM: I think the current definition of
9 1505, as I understand it, could use some clarification based
10 on the lack of early acknowledgement of other sources of
11 renewable hydrogen, for example, the anaerobic digester gas
12 produced from wastewater treatment was not originally
13 envisioned as a renewable component within the statute. So
14 I would think that some analysis of that, looking at
15 available feedstocks that could produce hydrogen, and what
16 their evaluation is under GREET or similar models, I think,
17 would make a lot of sense.

18 MR. WARD: I think we agree because I think the
19 intent is something we can all universally agree on, but how
20 it was actually formatted might be the challenge. You also
21 mentioned scalability, getting to stations that could be 500
22 to 1,000 kilograms a day. Is that a potential for the
23 stations we build now, could be modularly scalable to get to
24 that point, so we would not have to go through the
25 permitting repetitively?

1 MR. HEYDOM: Well, part of that, I think, is you
2 would take the strategy, if you could develop a site that is
3 amenable to a larger station, you would go ahead and permit
4 it on that basis. One of the challenges with hydrogen,
5 especially in Southern California, is footprint, is how much
6 hydrogen can you -- how much equipment can you fit given all
7 the setback requirements within the NFPA requirements? So
8 you have to look at the different sites and say, "How much
9 infrastructure can I put in at that location?" I would then
10 go ahead and try to permit for that maximum value if that is
11 of interest to the station operator, so you would not have
12 to go back and repeat the process.

13 MR. WARD: Not necessarily build to that maximum,
14 but go ahead and permit to it? Is that --

15 MR. HEYDOM: It depends on the site. It depends
16 on how you choose to get to that larger capacity. We worked
17 on projects where we have done it on a modular approach, a
18 stepping stone approach, for example, the UCI station, that
19 way where we started at 25 kilograms per day because of the
20 original intent of the station. Now, there is clearly
21 enough demand in the area to look to increase that, so
22 opportunities that UCI is trying to develop to increase the
23 capacity of the station, we think, makes a lot of sense
24 based on the demand at the station. And there are other
25 locations that look at it that way. I think there is merit

1 to limit the capital investment at the start, but you also
2 have to be able to anticipate the growth and how quickly
3 that growth is going to come.

4 MR. WARD: Okay, that is what I am getting at,
5 trying to find the sweet spot between those two issues.

6 MR. HEYDOM: As you look at the slope of the
7 curves for the deployment and the action plan, it is going
8 to come very quickly, and that is why the graph that Tim and
9 Mike showed, that shows that stepping forward approach, and
10 I think the presentation by Todd Sukow this morning on what
11 they are doing in Korea is the same thing, it is showing
12 that pre-investment on stations to be able to anticipate a
13 rapid growth of vehicles. I think you have to be able to
14 look at sites that can do that and look at technologies that
15 can be rapidly deployed and modified to be able to meet that
16 growth.

17 MR. WARD: Thank you, Ed.

18 MS. BAROODY: Thanks, Ed, for your presentation
19 and answering all those questions.

20 MR. HEYDOM: Thank you.

21 MR. MUENCH: One more, please. May I ask you the
22 same question? Within the next three to five years, how can
23 we assure the private partners and investment are present to
24 back-out the need for continuing public funding, which is
25 becoming increasingly untenable and politically

1 unsustainable?

2 MR. HEYDOM: Okay, I was thinking of an answer
3 when you asked it to the other speakers. You know, the key
4 really is, as the others have said, is to get to that market
5 driven approach, to get to the right station size, and
6 potentially looking at maybe a sliding scale of government
7 support. This early round of funding where you need a lot
8 of geographic coverage without a lot of through-put, you
9 probably end up with the potential for a larger government
10 participation, but as usage goes up over time, there is no
11 reason for the government participation to continue at that
12 basis, and once you get to the point where you are deploying
13 stations in that sweet spot, if it is 500 or so, or 1,000 or
14 so kilograms a day, where for station operators, you point,
15 it makes sense to go ahead and make that investment on their
16 own, they you get the answer automatically. So I think
17 having the foresight to do the pre-investment with the
18 strategy of being able to quickly add capacity to those
19 stations, but knowing once you have added the capacity that
20 you have a way to back out of the funding, I think, makes
21 the most sense from my perspective.

22 MR. MUENCH: Thanks.

23 MS. BAROODY: Thank you, Ed.

24 MR. HEYDOM: You are welcome.

25 MS. BAROODY: Okay, we have one more speaker in

1 this panel, Hydrogenics, Kevin Harris. Mark Schiller is not
2 here today, so we will end with Kevin and then we will go to
3 Public Comment.

4 MR. HARRIS: Thank you. First of all, thank you
5 very much for inviting me to this panel, and thank you to
6 the audience members here and online for being diehards. I
7 will try to go through this as fast as I can, but basically
8 today I am going to be talking about electrolytic hydrogen
9 and how we can tie in production of hydrogen via
10 electrolysis and also enable renewable energy to be a more,
11 larger factor in the grid.

12 So just a little bit about Hydrogenics. The
13 bullets are a little bit off, but hopefully we will be okay.
14 We are based out of Canada in Toronto. We have facilities
15 in Belgium and in Germany. There is also an office in
16 California. We make electrolyzers and protonic exchange
17 membrane fuel cells. We have over 1,700 hydrogen products
18 out there and we have been doing that since 1948.

19 Just to show you some of the refueling stations
20 that we have been involved with, many around the world, but
21 several in California. The picture there of the Santa
22 Monica station at the top, and the Oakland station at the
23 bottom. This just shows you a picture, if you are curious
24 to know what our products look like, the one on the left is
25 our 130 kilogram per day hydrogen production unit,

1 electrolyzer, and then the other units are fuel cell, either
2 for back-up power, or for mobility power such as buses or
3 trucks.

4 So one of the first things I wanted to mention is
5 that, for all intents and purposes, I am -- we are -- for
6 hydrogen and against nothing, and what I mean by that is,
7 you know, there is going to have to be a myriad of solutions
8 to solve the climate change issues that we have here, and
9 we, in fact, believe that there is a great marriage between
10 the two technologies of batteries and electricity, and
11 hydrogen and fuel cells. And we, in fact, endorse the
12 battery dominant, smaller fuel cell plug-in hybrid power
13 train architecture. And two examples are shown here, one is
14 a bus that is currently operating in Columbia, South
15 Carolina, which is a 32-Kilowatt fuel cell, and then also we
16 heard Lawrence Weisdorn talk from Vision Industries, his
17 truck also contains our fuel cells, but it has a battery
18 dominant type of architecture. And I can get more into that
19 later, but today I will be talking mostly about our
20 electrolyzer products.

21 Okay, one of the main things I want to convey to
22 you is that hydrogen is an energy storage medium, but it is
23 also an energy transfer medium, and it is a renewable energy
24 enabler. Let me explain what I am talking about. First of
25 all, let's talk about hydrogen as energy storage and where

1 it fits in with some of the other technologies. So on this
2 chart, on the X axis, if you will, we are seeing the level
3 of power and, on the Y axis, the amount of time that you can
4 run that particular technology at that particular power, or,
5 in other words, the energy content. So you can see hydrogen
6 is really up at the top. It has the ability to store large
7 amounts of energy with only really pumped hydro and
8 compressed air energy storage being able to do more. So
9 just to show you an example, this graph in the background
10 here shows the wind energy feed-in at the E.ON control area,
11 which is in Germany. And it shows you basically how much
12 power is being fed into the grid via the grid. Now, you can
13 see that if you have a reservoir that is about how much
14 energy storage in the lower left-hand corner that can be
15 stored with that particular technology. And then, likewise,
16 with compressed air technology, it is even less. But if you
17 were to take that same cavern and store hydrogen in it, you
18 are looking at that much amount of energy that can be
19 stored, so really a tremendous amount. So I think this
20 shows how well hydrogen can work. Then, also, a more
21 conventional way of storing hydrogen, you can see the tube
22 trailer, in electrical equivalent it can hold enough
23 hydrogen that is the same as 4 to 6 megawatt hours of
24 electrical energy, that is after the hydrogen is passed
25 through a fuel cell. And you have no leakage, no parasitic

1 losses over time. But what is maybe the most important
2 point on this slide is the cost, the incremental storage
3 cost is less than \$100.00 per kilowatt hour, so it is a
4 fairly cheap way to store hydrogen.

5 Okay, let's get into renewable energy and energy
6 transfer, as well. So the energy storage problem, renewable
7 energy is driving the need for energy storage. We all know
8 that wind and solar are intermittent and, incidentally, when
9 I am talking about renewable energy here, I am more in the
10 mind set of renewable electricity such as wind or solar.
11 Consumers and governments are pushing for more renewable
12 energy to be on the grid, and we know recently Governor
13 Schwarzenegger signed an Executive Order to reach 33 percent
14 by 2020. Other parts of the world, we have seen that
15 problems occur, though, when you put on greater than 10
16 percent of renewable energy onto the grid because of its
17 intermittent nature. And what that means basically, for
18 every kilowatt of wind power you put on, you have to have 1
19 kilowatt of some sort of back-up, like a natural gas peaker,
20 or whatnot. And I will get into this a little bit later,
21 but instead of doing it that way, maybe you can control the
22 load instead of having back-up power, meaning if the wind
23 dies down, maybe you can drop your load off. I am not sure
24 if SMUD has this program, but where I live, Southern
25 California Edison has something they call the Summer

1 Discount Program, and they will pay you a certain amount to
2 take control over your air conditioning unit, so this is
3 something that I subscribe to, and it is similar to what I
4 am going to be talking about in a few slides, but basically
5 over the months of June, July, and August, I get
6 approximately a \$35.00 credit on my electricity bill just to
7 give them the option of taking control of that air
8 conditioner. Incidentally, last year and to date, this
9 year, they have never had to turn off my air conditioning
10 unit. The bottom line here is that higher renewable energy
11 penetration raises the need for energy storage.

12 Now, combine that with the fact that an
13 electrolyzer is what I call "manipulatable," meaning that
14 you can ramp it up, ramp it down, and turn it off. We have
15 done research into our electrolyzers and there really is no
16 problem with turning it on and off, and you can see that the
17 drop is instantaneous as far as turning off that electricity
18 and then turning it back on again. So what this allows, if
19 you are an operator of an electrolyzer, you are obviously
20 consuming electricity to produce hydrogen, but it allows you
21 to enter into what they call a grid ancillary services
22 contract where, again, you give control, or temporary
23 control, of your load to the utility, in exchange for either
24 a lower rate, or for some sort of credit, essentially.

25 And these are different types of grid ancillary

1 services that you can get involved with, and basically they
2 vary from the amount of time that they are on, the amount of
3 time that you have to react to the situation, and so on.
4 The first two are the most important ones, at least for
5 myself, regulation is more like second to minute and
6 spinning reserve is more, you know, minutes to hours type of
7 deal. Incidentally, these do not really occupy a lot of
8 hours in a particular year, so if they are going to turn you
9 off, for example, we are not talking about hundreds of hours
10 per year, we are talking about maybe tens of hours per year.
11 So when people think of hydrogen and energy storage, they
12 typically think of this scenario where, if you have excess
13 power or renewable energy, you would create your hydrogen
14 and then, when you have a deficit, you would then use that
15 hydrogen through a fuel cell to recreate electricity. Okay,
16 we are not talking about that. That is something that we
17 have looked at and, economically, it is difficult to
18 justify. So what we are really talking about here is the
19 opportunity to not immediately, but at a later date, maybe
20 in a decade or so, where you can actually overdrive the
21 grid, if you will, and have an abundance of renewable
22 energy, and then use the electrolyzer to basically correct
23 it so that only the proper amount of electricity is going
24 into the grid. So you can see -- you take the excess
25 energy, put it through the electrolyzer, you store it, and

1 then you dispense it. And this is just a way of showing
2 this with pictures -- you have solar or wind going into
3 hydrogen generation, that electrolyzer, then your are
4 compressing it and storing it, and then eventually
5 dispensing it. Now, putting it into vehicles is not the
6 only way to use the hydrogen; if you can, if you have a
7 customer you can also use this for industrial hydrogen uses,
8 whether it is a hydrogenated oil plant, or whatnot.

9 So the advantages of hydrogen -- long term
10 storage. So you can store this hydrogen essentially for
11 days, weeks, and conceivably months, which is not something
12 you can do with batteries. And there is essentially no
13 leakage, and it is flexible for many uses. Like I said, it
14 could be used for fueling vehicles or for industrial uses,
15 this system is a zero emission throughout, so creating the
16 hydrogen to consuming the hydrogen, as well. And then, of
17 course, the hydrogen technology will continue to develop and
18 efficiency will get better, and so on.

19 So this shows an example basically of what we are
20 talking about in price differences if you get involved with
21 the grid ancillary services contracts while using
22 electrolysis. So in this particular case, we are taking a
23 2,000 kilogram per day unit and then showing that we can get
24 about \$8.25 a kilogram with just business as usual. But if
25 you get involved with a grid ancillary services contract,

1 you are essentially looking at revenue to you of about a
2 million dollars per year, and then resulting in about a
3 reduction of \$1.25 a kilogram, resulting in \$7.00 a
4 kilogram. And this takes into account also the extra
5 storage that you may need to install just to make sure that
6 you have enough hydrogen when they decide to turn down or
7 turn off your unit.

8 So to translate this into vehicles, we just did a
9 simple calculation here using very recent numbers that were
10 published from DOE, Enrol, Savannah River, and Toyota, but
11 basically you have the hybrid gasoline vehicle getting 440
12 miles, approximately 26 miles per gallon, and then the fuel
13 cell hybrid vehicle, it is the same vehicle, 431 miles, so
14 approximately the same range, but in that case 68 miles per
15 gallon, and where I came from today in Santa Clarita, gas
16 was at \$3.15 a gallon, making the total for filling up that
17 tank of \$53.31. If we use \$8.00 a kilogram, for example,
18 then we are looking at \$50.71. So that is basically the
19 breakeven point right now for -- that is where hydrogen
20 needs to be. And basically just showing that we do have a
21 large scale electrolysis that is accessible today, I mean,
22 we are not the only ones, but we do have this available,
23 definitely.

24 So just some closing remarks here, hydrogen -- my
25 main message is that hydrogen is an energy storage and

1 transfer medium, it can be considered a good form of energy
2 storage, particularly when large amount of energy have to be
3 stored, and for long periods of time. Hydrogen can be used
4 as an energy transfer medium and what I mean by that is you
5 can take the energy from the renewable energy sector and
6 transfer it over to the transportation sector, and it can be
7 done at reasonable cost, we believe, with the help of grid
8 ancillary services contracts. And, of course, hydrogen can
9 help smooth out the intermittency of renewable energy
10 sources, which I think is a very important point since we
11 are trying to reach higher levels of grid penetration of
12 renewable energy. So this type of scenario will just feed
13 on itself, enabling further penetration of renewable energy
14 power sources into the grid mix. So the end result is
15 basically lower petroleum consumption, which means increased
16 energy independence and lower cost, less air pollution, and
17 less greenhouse gases. That is my presentation. Thank you
18 for listening. I will be more than happy to take any
19 questions.

20 MS. BARODY: Thanks, Kevin. Questions?

21 MR. WARD: One question. You mentioned the
22 intermittency problem with renewables. This is just a
23 transmission problem of renewables, too, or can it be done
24 on site of the --

25 MR. HARRIS: Yeah, I mean, it can be done in a

1 variety of ways, either the electrolyzer can be located very
2 close to the renewable energy source, or it can be located
3 downstream. So obviously, if you cut off that power to the
4 electrolyzer, then those electrons that would be flowing
5 would also not be flowing through the transmission lines,
6 and then you would be alleviating those transmission lines.

7 MR. WARD: Thank you.

8 MR. OLSON: And could you also just elaborate on
9 the size -- how big can you go in storage?

10 MR. HARRIS: In storage, well, I mean it really
11 depends on how much real estate you have, the pressure
12 tanks, like that one -- to take an extreme example, but the
13 cavern, this is basically 600,000 Megawatt hours of energy,
14 so if you divide that by 15, approximately, then you are
15 looking at how many kilograms you can actually store of
16 hydrogen.

17 MR. OLSON: But is the medium really the tube
18 trailer idea? Is that --

19 MR. HARRIS: Yeah, that is one way to do it. I
20 think normally, if you were going to set up a project like
21 this, you would not necessarily use a tube trailer, but you
22 would use tanks that are similar to that, that are on the
23 tube trailer, and have it more of a stationary system, so
24 you would not have to pass the DOT regulations, and so on.

25 MR. OLSON: Just to clarify, you get a cost

1 reduction with that process comparing \$8.25 a kilogram to
2 \$7.00?

3 MR. HARRIS: That is right, just by entering into
4 that contract. It does not really cost you anything, you
5 just -- you are a participant in this and you may lose
6 hydrogen production for some period of time, but the fact is
7 that you can buffer yourself, whatever your process is,
8 whether it is refueling buses or cars, or if it is hydrogen
9 used in some process, is that you can buffer that hydrogen
10 in tanks and really not have to suffer anything.

11 MR. OLSON: Have you explored any of the credit
12 system, the renewable energy credits, or the -- the system
13 does not exist for AB 32 yet, but is there a credit for you
14 to do this, say, off-peak, to basically create through the
15 electrolysis, create the hydrogen off-peak when many of the
16 renewable sources are available? And then also bank
17 credits? Have you explored that at all?

18 MR. HARRIS: Not at this point in time, but
19 something we should look into.

20 MR. OLSON: That will be a topic of our next
21 workshop in San Francisco on October 12th is what is the
22 utility role in this, in essence, how do we extract
23 electricity as a source for either electric drive or
24 hydrogen or other sources. And then kind of how do we get
25 to a more comprehensive renewable mix that we can use in

1 transportation, and how do we do that through some of the
2 existing utility tariffs and other programs.

3 MR. HARRIS: Sounds good.

4 MS. BAROODY: Any other questions?

5 MR. MUENCH: One more. Tobias Muench, Commission
6 staff. I am not going to repeat my same old question to you
7 again, but along the lines of that question, your system you
8 are presenting, the electrolyzer, it sounds like something
9 that could present a viable business case to hydrogen
10 fueling and hydrogen as a fuel for transportation. Could
11 you kind of make a few remarks about that in relation to my
12 question? I will be happy to repeat it, if necessary.

13 MR. HARRIS: Well, maybe you should repeat it,
14 just so I could understand it a little bit.

15 MR. MUENCH: Sure. Within the next three to five
16 years, how can we assure that private partners and
17 investment are present to back-out the need for continued
18 public funding, which is becoming increasingly untenable and
19 politically unsustainable?

20 MR. HARRIS: Yeah, I think the answer is similar
21 to the other folks, is we need to get to a certain volume
22 and size because, really, where hydrogen becomes less
23 expensive is using economies of scale, you know, once you
24 get to the 1,000 kilogram per day, and so on. So we need to
25 get to that point, and once we get to that point we can

1 start backing out the government support. One thing I would
2 like to mention, how we can I guess continue to fund some of
3 these programs, we talk about renewable energy credits, and
4 we all understand how that works, you know, you have someone
5 that produces wind power, they get a renewable energy
6 credit, then someone will actually pay for that renewable
7 energy credit. Another way to help fund these programs is
8 selling gasoline, not necessary at a higher tax rate, but
9 attaching what I call domestic energy credit, so we all talk
10 about energy independence and the importance of providing
11 energy domestically, and if you can attach a premium,
12 whether it is two cents a gallon, or whatnot, for gasoline
13 that has a domestic energy credit attached to it, so meaning
14 that the gasoline that I buy, it is going to be made from
15 some sort of, you know, Made in the U.S.A., or Made in North
16 America, or whatever the case may be, I think that would --
17 people would buy that because we are all saying that
18 domestic energy is very important, and then those two cents
19 per gallon can go towards all these programs that we are
20 talking about, that leads to even more domestic energy. So
21 instead of a wreck, we would be talking about a deck.

22 MR. MUENCH: Thank you.

23 MS. BARODY: All right. More questions? Thank
24 you, Kevin, for your presentation. We will head into the
25 public comment period. And I think we have a couple of

1 people. Is it Bob Boyd? From Linde?

2 MR. BOYD: Hi. I just wanted -- we are talking
3 about step changes in terms of installed costs, and I just
4 wanted to touch base on a little bit of what is sort of a
5 relatively unknown group called the HIPOC which is the
6 Hydrogen Industry Panel On Codes, and this was set up a
7 number of years ago by the DOE to help facilitate
8 coordination of Codes and Standards development and changes.
9 With the -- the text has kind of changed -- but to
10 facilitate the successful energy commercial decisions in
11 2015. And originally this was set up with members of what
12 is called the International Codes, or the International Code
13 Council is actually sort of a revitalized fire code,
14 building code, development organization. It used to be
15 Western Codes, and Southern Codes, and a whole bunch of
16 different codes and standards development communities around
17 the country, and it has all kind of been reorganized under
18 the International Code Council. And, for instance, the
19 State of California adopts a series of building codes, fire
20 codes, mechanical codes, electrical codes, and now the 2007
21 California Codes are based on the 2006 ICC Codes, they are
22 not actually what I would call "International," that is just
23 a name, they are really national, the United States. Who is
24 represented at HIPOC is actually a fairly senior bunch of
25 folks there from code enforcement, from the fuel cell

1 industry, representing fuel cell vehicles, we have got the
2 Chair of NFPA 2, the Chair of NFPA 52, it is a very wide
3 group, this is all sponsored by the DOE, there are
4 alternates to each of these representatives, there is
5 someone from Airproducts that is my alternate, there is
6 strong alternates for most of these categories. What is
7 going on today, well, just sort of -- NFK52 is all fuels for
8 transportation, so that has CNG, LNG, liquid hydrogen and
9 compressed hydrogen dispensing technology. The 2010 edition
10 is about to ship from the printer and it has a lot of new
11 provisions for fueling, and NFPA 2 is another code that is
12 going to be all hydrogen and it is absolutely a great code.
13 I mean, most people are pretty bored looking at codes, but
14 the folks have done a great job reorganizing that. And so
15 more work is needed, but the DOE, knocking on wood, is
16 continuing to fund the Code and Development Standard process
17 and we are making some good progress towards our target to
18 see some mature hydrogen codes by 2015. Now, when we say
19 "mature codes," we mean codes that work, that are easy for
20 regulators to interpret, and we believe that this will help
21 make the installation of stations a lot easier. There is a
22 whole bunch of codes and standards, I just picked a few out.
23 They are all sort of in progress of developing. One of the
24 things that we really need is to be able to list devices.
25 There is a group at CSA America that is working feverishly

1 to develop a whole series of codes and standards that aim
2 toward the component level, the components of the hydrogen
3 station, and it is probably worth noting that we do not
4 really have codes and standards that we can list to at this
5 point in time, so that really raised the cost of doing these
6 hydrogen installations over the past five years. So we are
7 making some progress and it will enable us in the 2015 to
8 2020 range to be able to deploy stations at a lot lower cost
9 than we can today, or even in the next five years. Anyway,
10 it is getting better every year. More of this can be seen
11 at the website up there, and all of the meeting Minutes are
12 public, and if there people that want to get involved or
13 submit a proposal, there are ways of doing that. So, Toby,
14 are you going to ask me your question?

15 MR. MUENCH: I do not think that will be
16 necessary. Michael already responded to that. Unless you
17 have anything to add.

18 MR. BOYD: No. Thanks.

19 MR. WARD: Bob, thank you for putting a human face
20 on codes and standards. It made it actually interesting.
21 But I would suggest you call it HIPOC, it just sounds better
22 for some reason.

23 MR. BOYD: HIPOC, yeah, I do not -- yeah, some
24 people call it HIGH POC, and some people call it HIPOC.

25 MR. WARD: HIPOC, that is kind of catchy. But you

1 do think that this will -- and it is imminent, you say, that
2 this is printed, and this could help us for the next
3 stations that we will be developing?

4 MR. BOYD: Yeah, 52 will help a little bit. There
5 is more specific descriptions, particularly around indoor
6 fueling for forklifts, there is a good bit in 52. And I
7 really -- and there is a little bit of nuances to all of
8 this stuff at NFPA, just as an example, NFPA 55 sets the
9 separation distances between the storage tank and any
10 adjacent structures, and things like that. And some of the
11 technical committee at 52 did not like what 55 was doing,
12 and 55 was doing some really advanced research that has been
13 funded by DOE and Sandia in terms of trying to get our
14 separation distance a bit more rational, whereas previously
15 our separation distance were based on, "Well, this fuel is
16 good, so let's just leave it that way." Now we have
17 actually got a scientific reason for why we have setback
18 distances, and those codes in 55 have only changed for
19 compressed, we have not addressed liquid setbacks yet, so we
20 are still using the old setback distances. But the HIPOC
21 group actually made some testimony at the technical
22 committee that had to decide would 52 be allowed to keep the
23 old setback distances, or did 55 have precedence, and so we
24 have actually been successful in focusing on those type --
25 bringing testimony to people that have to make decisions

1 about this stuff. We have been able to bring some logic, I
2 think, to some of these questions. So NFPA 2 is actually an
3 extractive document that will extract some from -- I am
4 sorry, did I say 52? NFPA 2 is this big huge all hydrogen
5 document, that will extract all the stuff that is relevant
6 from 52 plus all the stuff that is relevant from 55, and put
7 this into an all hydrogen document that is promising to look
8 very very good, and be very helpful. Right now, where that
9 is, is the way NFPA works is they will have a request for
10 proposals, a period of time, people will put in proposals to
11 make changes on the code, in the case of 52, that has
12 already happened. Now, the technical committee and the
13 staff are trying to pull all the approved proposals
14 together, there was a big technical meeting in August, where
15 the good proposals were accepted, and the proposals that did
16 not quite get accepted are still out there as potential
17 proposals for change. And then we now go into what is
18 called the ROC, which is Report on Comments stage, so that
19 the public will have a chance to look at the proposals that
20 did not get accepted during the ROP stage, and then bring
21 added testimony to the technical committee that then may be
22 able to make some further changes in this particular edition
23 of NFPA 2. So it is a long arduous process, and each one of
24 these codes has a different technical committee, and each
25 organization has a different way of working. But we are

1 making some progress across the board.

2 MR. WARD: You mention that DOE is continuing to
3 fund this effort. Were they continuing to fund it even with
4 the budget cut? Was that one of the baseline continuations
5 -- or are they renewing new money?

6 MR. BOYD: Yes, it was, although there was a lack
7 of funding, and there still is a lack of funding. There is
8 a lack of DOE funding that are some contracts that were
9 supposed to be paid, that were not paid, and so there is a
10 reduction in travel right now, some people cannot travel
11 because they are not funded, so there is still a bit of
12 uncertainty with the DOE funding for this, but in principal
13 it was retained.

14 MR. WARD: Is the Congressional restitution of
15 that funding promising for smoothing that out?

16 MR. BOYD: Cautiously, and promising though.

17 MR. WARD: Okay, great. Thanks very much.

18 MS. BAROODY: Thank you, Bob.

19 MR. MUENCH: Bob, could you make any of those
20 codes when they are released finally, can you make those
21 available to us, please? Is that possible?

22 MR. BOYD: Yeah, I can make you aware of them when
23 they are released. You have to purchase them.

24 MR. MUENCH: Yeah, I would be interested.

25 MR. BOYD: I get free copies, but I cannot share

1 it with you.

2 MR. MUENCH: Thanks.

3 MS. BARODY: Thank you, Bob. Asemblon, are you
4 in the house? Okay. Mike -- is it Ramage?

5 MR. RAMAGE: It is Ramage. Well, I have got to
6 tell you, this has been a wonderful day for me. I have
7 really enjoyed this. It is almost like Christmas morning
8 for our technology because everything I have heard, we can
9 enhance or assist all of my colleagues. So without further
10 ado, you will notice we are in Redding, Washington. I am
11 from Washington and I am here to help. And I hope that does
12 not make you cringe to hear that. We have developed over
13 the course of about four years and about \$11 million in
14 private equity funding a simple organic molecule that
15 carries hydrogen. It is liquid over a wide temperature
16 range. It is stored and transported at normal temperature
17 and pressure, so there is no need for cryogenic or pressure
18 treatment. It uses the current -- or will use -- the
19 current fueling infrastructure, so everywhere that there is
20 fueling now for gasoline, we can use that infrastructure for
21 this product. It is as safe as gasoline or diesel, it
22 exceeds the DOE goals, and I will have a graph on that here
23 in just a moment, and it enables renewable energy, which is
24 clearly very important to you for your 2020 goals. And it
25 releases hydrogen, as needed.

1 So to give you a graphic as to how it works, this
2 is very simplistic, the HYDRNOL is run through or in contact
3 with a catalytic surface and a certain amount of hydrogen is
4 released. That molecule with the remaining hydrogen, or the
5 spent HYDRNOL, is then moved to a re-hydrogenation catalytic
6 surface where it is re-hydrogenated with HYDRNOL, and it
7 goes back into service. So we are showing in the lab in
8 excess of 1,000 recycling moments, but we are advertising
9 about 100 in recycling that molecule for commercial use.

10 So the vehicle implementation would be that you
11 hydrogenate the hydrogen, preferably at the source, it does
12 not need to be, but it could be at the source, so let's say
13 you have a methane, or a bovine plant, or a waste landfill,
14 and you hydrogenate there, and then you deliver the HYDRNOL,
15 which is what we call our molecule, it is hydrogenated to
16 the service stations, and I would like to point out that you
17 do not need cryo or compressed vehicles in order to do it,
18 you can use a conventional gasoline tanker, which greatly
19 reduces the cost. A gasoline tanker runs about \$90,000 to
20 \$110,000 a piece, and it is my understanding that the
21 compressed tanker is on the order of \$500,000 to \$600,000,
22 and cryo tankers can be in excess of a million dollars. So
23 we are looking at a very limited CapEx for delivery. So the
24 HYDRNOL station is around a tenth of the cost of a cryo
25 compressed station, and I am just talking about the station,

1 I am not talking about the hydrogenation capability for the
2 moment. So when we talk about 200 stations in the
3 Governor's plan for the hydrogen highway, if you are just
4 talking about the stations at 120 kilograms per day, we can
5 do that for \$40 million. Again, recycling on that molecule
6 is 100 times. This is the DOE target chart that will show
7 you what their ultimate targets are with the 2010 or 2015
8 target. It is a little complicated, but the takeaway
9 message that we have been working with our S47, which is 4.7
10 gravimetric capacity of sulfur molecule for a number of
11 years, just because it is easy to work with in the
12 laboratory. We have now moved to a series of nitrogen
13 molecules, the N67 indicates that it is 6.7 gravimetric
14 capacity, or 6.7 percent weight -- weight by weight.
15 HYDRNOL N108 will be 10.8 percent gravimetric capacity, and
16 we also have an 11.6 that is in development. So we are
17 already well in excess of the DOE targets. And if you look
18 just quickly -- because I have got only five minutes -- if
19 you look quickly at the chemical hydrides and various other
20 types of storage media, we are well at excess of all of
21 those. HYDRNOL, we feel, is a transitional technology. All
22 day today, I have heard about people wanting to transition
23 to renewable energy sources, and make maximum use of the
24 existing infrastructure. Hydrogen can be initially derived
25 from natural gas, initially, and then renewable sources as

1 they become available, so you can bring this online with the
2 technology when it is the appropriate time. You build value
3 from the first installation, so you are not just doing one
4 off for, you know, X number of let's say 45 kilograms a day,
5 you are actually able to expand this technology and the
6 deployment thereof. It does not require significant user
7 re-education. You fill up your tank with a liquid, just
8 like you do with gasoline. Diesel co-combustion can be very
9 quickly implemented at Long Beach, Port of Long Beach, for
10 instance, at a very low cost. We estimate the Class A
11 vehicles can be retrofitted for this purpose for about
12 \$10,000 a piece. There is a low capital cost to deploy,
13 including an existing vehicle retrofit, there are 230
14 million vehicles in the United States right now, that most
15 of them can be retrofitted for a HYDRNOL purpose. And what
16 that means is that the adoption of hydrogen as a usable fuel
17 can be greatly accelerated, and we will be talking in a
18 moment about what that means in terms of revenue generation
19 for the State of California. And the optimal fueling points
20 are already established for gasoline. One of the speakers
21 today talked about selecting a fueling point that is located
22 at the point of greatest use. Well, over the course of
23 decades, the oil and gas companies have located those
24 fueling stations based on population density, so that is
25 already done for us. If we could use those fueling stations

1 and that infrastructure for a liquid that is transparent to
2 the user, just like gasoline, then we can adopt much faster
3 than we have already anticipated.

4 We talked a little bit -- I think Kevin talked
5 about what we call "power shifting." In North Dakota, this
6 is a slide that shows a number of wind farms and the problem
7 is that the production does not match, in fact, the inverse
8 of matching the need. So what you need to do is shift the
9 maximum production of that energy to the point of maximum
10 need. And you can do that by storing that through an
11 electrolyzer process in the HYDRNOL molecule. We have shown
12 that you could store 4.2 Gigawatts of power in HYDRNOL as
13 hydrogen in a 30 foot X 60 foot conventional gasoline tank,
14 which is about a million gallons.

15 This is our hydrogen technical roadmap. You will
16 see that the perfect concept is already done, as an R&D
17 company, we are well out of the R and we are into the D now,
18 we are in the development process, and we have a number of
19 teaming partners that are helping us with that. We are
20 looking for more. The Alpha scale is underway right now
21 with the N67 molecule, we are developing a Beta reactor with
22 Patel Memorial Institute and their Hydrogen Division, it is
23 -- we have a number of teaming partners, there are too many
24 for me to mention in the one minute remaining to me. So I
25 am happy to talk with anyone about our progress in the

1 development path. What I would like to point out is that
2 this really fits very nicely in terms of providing a usable
3 fueling infrastructure to all the OEM light duty vehicles,
4 and all of their plans. They are all looking at 2012 to
5 2015, this fits very nicely.

6 So some of our demonstration partners include
7 Clemson University, International Center for Automotive
8 Research, it does much of the work for BMW and Mazda, we
9 just received a Letter of Endorsement from Mazda on a
10 proposal, an RFI that we submitted to ARPA-E last week with
11 PACCAR and ICAR. For static, we are working with Basin
12 Electric and DOE, there is a wind hydrogen project that we
13 are taking over, actually, in North Dakota here in the next
14 month or so, so we will be demonstrating a footprint for a
15 HYDRNOL station and also a co-combustion. And then small
16 engines, there is significant interest with Enrol, again, at
17 Clemson University and SCIES, South Carolina Institute for
18 Energy Studies. And there are numerous other projects we
19 are working on. Our objective over the course of 18-24
20 months is to demonstrate all of the applications for HYDRNOL
21 which would include onboard, it would include cell tower
22 back-up power, smart grid energy storage, diesel co-
23 combustion, and we are looking for partners to do all of
24 that at this point. We intend to be fully commercialized in
25 the next 24 months. So we see the California opportunity as

1 being this: we can help you to cost-effectively meet the 30
2 percent -- now 33 percent -- by 2030 renewable requirement.
3 We can absolutely reduce diesel emissions, and we can
4 accelerate the hydrogen adoption, and the resulting tax
5 revenues to further supplement renewables. Tobias asked me
6 that question. And then, conversion of legacy internal
7 combustion engine vehicles, versus waiting for a fuel cell
8 vehicle availability. What is important about this is we
9 are not attempting to supplant anyone that is providing
10 energy, or anyone that is going to intend to provide fuel
11 cell vehicles. We want to provide that hydrogen
12 infrastructure and the hydrogen availability to everyone, so
13 that when they get there, it is there, and it is an
14 incentive for them to actually invest in the production of
15 those vehicles. So if there are any questions, I would be
16 happy to answer them.

17 MS. BAROODY: Questions?

18 MR. WARD: I am just wondering if this storage
19 that you say is on the vehicle, it is liquid form like most
20 vehicles have right now, would it be the same range
21 characteristics that you would have with, say, high pressure
22 storage at 5,000 bsi* [4:24] on a vehicle?

23 MR. RAMAGE: That is a great question. There are
24 a number of molecules. The molecule will initially
25 commercialize -- the molecule initially shown in our beta

1 version will be about 20 gallons on board with a 300 mile
2 range; the next molecule will be the 10.8 nitrogen molecule,
3 and that will be about a 15 gallon tank with a 300 mile
4 range.

5 MR. WARD: Do you have auto companies interested
6 in your product at this point?

7 MR. RAMAGE: We do.

8 MR. WARD: Care to tell us anything about that
9 right now?

10 MR. RAMAGE: I would be happy to behind closed
11 doors.

12 MR. WARD: I see. Great, thanks very much.

13 MR. RAMAGE: Thank you.

14 MS. BAROODY: Thanks, Mike, for compressing your
15 presentation into 10 minutes. Are there any more -- do
16 people want to say something during the public comments
17 phase? Pilar, anybody on WebEx?

18 MS. MAGANA: They are all unmuted.

19 MS. BAROODY: Anybody would like to say anything
20 in our online audience? No, okay.

21 MR. WATKINS: This is Larry Watkins.

22 MS. BAROODY: I am sorry, can you say it again?

23 MR. WATKINS: Sorry, this is Larry Watkins. I
24 thought it was a terrific set of presentations.

25 MS. BAROODY: Great, yes.

CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Workshop; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said meeting, nor in any way interested in outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this _____ day of October, 2009.

PETER PETTY