

INTEGRATED ENERGY POLICY REPORT COMMITTEE WORKSHOP

BEFORE THE

CALIFORNIA ENERGY RESOURCES CONSERVATION

AND DEVELOPMENT COMMISSION

In the Matter of:)

Preparation of the 2009 Integrated)
Energy Policy Report)

) Docket No.
) 09-IEP-1E
)
)
)
)
)
)
)
)



ORIGINAL

COMPARATIVE COSTS OF CALIFORNIA ELECTRICITY
GENERATION TECHNOLOGIES

CALIFORNIA ENERGY COMMISSION

HEARING ROOM A

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

TUESDAY, AUGUST 25, 2009

9:00 A.M.

Reported by:
Barbara J. Little

DOCKET	
09-IEP-1E	
DATE	AUG 25 2009
RECD	SEP 21 2009

CALIFORNIA REPORTING, LLC
52 LONGWOOD DRIVE
SAN RAFAEL, CA 94901
415-457-4417

COMMISSIONERS PRESENT

Jeffrey Byron

James Boyd

STAFF AND ADVISORS PRESENT

Kelly Birkenshaw

Laurie ten Hope

Ivin Rhyne

Gerald Braun

Al Alvarado

ALSO PRESENT

Richard McCann, Aspen Environmental Group

Charles O'Donnell, KEMA, Inc.

Pete Baumstark, KEMA, Inc.

Tony Braun, CMUA

Matt Barmack, Calpine

Kenneth Swain, Navigant Consulting

Evan Hughes, Biomass & Geothermal Consultant

Matt Campbell, SunPower

Raffi Minasian, Southern California Edison

Jim Farrar

Richard Murray, California Landscape Architect

Craig Lewis

I n d e x

	Page
Introductions and Opening Comments	
Introduction	
Lynette Green, Energy Commission	4
Opening Comments	
Commissioner Jeffrey Byron, Presiding Member of IEPR Committee	7
Vice Chair Jim Boyd, Associate Member of IEPR Committee	9
Goals of the Levelized Cost of Generation Analysis	
Ivin Rhyne, Manager of Electricity Analysis Office	10
Overview of Staff Levelized Cost of Generation Analysis and Results	
Richard McCann, Aspen Environmental Group Model enhancements	17
Gerald Braun, Energy Commission Technical Consultant - Renewable technology cost drivers	29
Al Alvarado, Energy Commission Staff, Levelized cost results	49
Public Discussion and Comments	
Tony Braun, Counsel, California Municipal Utilities Association	74
Matt Barmack, Calpine	76
Ken Swain, Navigant Consulting	84
Evan Hughes, Biomass and Geothermal Consultant	85
Matt Campbell, SunPower	89
Raffi Minasian, Southern California Edison	94
California Reporting, LLC	3
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417	

I N D E X (CONT.)

	Page
Building and Community Scale Renewable Technology Costs	
Charles O'Donnell, KEMA, Inc.	110
Pete Baumstark, KEMA, Inc.	134
Public Discussion and Comments	
Matt Campbell, SunPower	166
Richard Murray, California Landscape Architect	168
Lynn Harris-Hicks, CREED	174
Closing Remarks from Commissioners	182
Adjournment	186
Certificate of Reporter	187

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16

P R O C E E D I N G S

9:00 A.M.

MS. GREEN: All right, we'll go ahead and get started. Good morning, I'm not Suzanne Korosec, that's what's stated on the agenda, there's a slight change.

However, I do work in the Energy Commission's IEPR Unit and my name's Lynette Green.

Welcome to today's IEPR Committee Workshop on Comparative Costs of California Electricity Generation Technologies.

The purpose of today's workshop is to review the Energy Commission staff's preliminary cost estimates for different electricity generation technologies.

The goal of this project is to have a single set of the most current levelized electricity generating cost estimates that can be used in policy development and energy

1 resource planning at the Energy Commission and other State
2 agencies.

3 Our agenda today will begin with a discussion of
4 the goals of the analysis, followed by an overview of the
5 actual analysis and results and then we'll open it up for
6 discussion and comments, after which we'll break for lunch.

7 We'll resume with a presentation on Building and
8 Community Scale Renewable Energy Technology Costs, again
9 followed by an opportunity for public comment.

10 For those who are not familiar with the building,
11 rest rooms are outside this room to your left, and we also
12 have a snack bar up on the second floor.

13 And in the event of an emergency and we need to
14 evacuate, please follow staff outside to the Roseville Park
15 across the street and we'll wait there until we're told for
16 all-clear signal.

17 Today's workshop is being broadcast through our
18 WebEx conferencing system and parties should be aware that
19 we are recording the workshop.

20 We'll make the recording available on our website
21 a couple days after workshop and we'll also provide a
22 written transcript once it's available, and it usually takes
23 a couple weeks.

24 For presenters and commenters, please make sure
25 you speak directly into the microphones so that people

1 listening in on the WebEx can hear you clearly.

2 During the public comment period today we'll hear
3 first from the folks in the room and then we'll open the
4 lines to hear from WebEx participants.

5 For parties in the room, who make comments, please
6 come up to the podium and use the microphone so we can
7 capture your comments in the transcript.

8 It's also helpful if you can give the court
9 reporter your business card when you come up to speak at the
10 podium so we can make sure your name and affiliation are
11 reflected correct in the transcript.

12 We're also asking parties to submit written
13 comments and those are due by 5:00 p.m., on September 2nd.
14 The information from this workshop will feed into the 2009
15 IEPR, the first draft of which is expected to be released at
16 the end of September, with a hearing on the draft schedule
17 for October 15th.

18 And with that I'll turn it over with the
19 Commissioners for their opening remarks.

20 COMMISSIONER BYRON: Thank you, Ms. Green.

21 Good morning, everyone. I'm Commissioner Jeff
22 Byron and I Chair the Integrated Energy Policy Report
23 Committee.

24 Along with me at the dais here is my Associate
25 Member of that Committee, Vice Chair Boyd. And his advisor

1 to his left, Kelly Birkenshaw.

2 To my right is my advisor, Laurie ten Hope.

3 And I guess we could have called this a joint
4 committee workshop since Commissioner Boyd and I are also
5 both on the Electricity and Natural Gas Committee. However,
6 it saved a little ink, I guess.

7 COMMISSIONER BOYD: It didn't save us at all.

8 COMMISSIONER BYRON: I can't believe that the last
9 workshop on this subject, I believe, was April 16th; is that
10 correct? It seems like only yesterday in some ways.

11 Commissioner, I often say when I'm speaking to
12 some of my fellow Commissioners at the Public Utilities
13 Commission, at least there's one commission in the State
14 that's concerned about cost.

15 And, of course, that's not true, beside the Public
16 Utilities Commission, this Commission is very concerned
17 about the cost of generation, and for a couple of reasons.

18 One, it's extremely important that it be -- that
19 there's accurate and readily available levelized cost of
20 generation estimates for resource planning, but also --
21 let's see, I jotted my two down here, and the other that the
22 information is available on a comparative basis.

23 That's oftentimes very difficult because the
24 information might be from a vendor or for a particular
25 generation technology, but we need to understand how those

1 costs compare.

2 The staff's been busy making a number of
3 improvements to their generation model, primarily in
4 response to some recommendations from the '07 IEPR, that we
5 asked them to look at a range of costs and, also, the long-
6 term changes in cost, in certain cost variables.

7 So the staff's done that, they've looked at about,
8 by my count, 21 different central station generation
9 technologies, a number of natural gas-fired, nuclear
10 integrated gasification plants, and a number of renewable
11 technologies.

12 But I'll let the staff go into more detail as to
13 how they would address the IEPR recommendations.

14 I look forward to an informative day, the
15 presentations as well as suggested recommendations from
16 those in attendance today.

17 And, Commissioner Boyd, would you like to add
18 anything this morning?

19 COMMISSIONER BOYD: Very little, I hope. I said
20 that to you yesterday and went on for five minutes, so let's
21 see if I can be brief today.

22 You have captured the spirit of the notice, which
23 in the notice the background was provided as to why we're
24 here and what we and the staff are trying to achieve, you
25 captured it well.

1 I think the last thing I would say is this is an
2 extremely comprehensive report; I commend the staff for
3 that.

4 It was, I'll admit it, laborious reading, but
5 extremely educational. And so I look forward to the
6 comments we hear today and any written testimony to see
7 people's views, and point of views, and each suggestion they
8 may have about what the staff has written.

9 But at the moment I stand most impressive and I
10 think very educated, so this should be an interesting day.

11 COMMISSIONER BYRON: Yeah, the binder was tough,
12 wasn't it?

13 COMMISSIONER BOYD: Yeah, it kept popping open on
14 me.

15 In any event, the audience should know we sat here
16 all day yesterday doing a different hearing. So I don't
17 think we'll be testy today, but thank you for moving me to
18 the left side today, instead of on the right side.

19 In any event, carry on.

20 COMMISSIONER BYRON: All right. Mr. Rhyne, you're
21 up first.

22 MR. RHYNE: Thank you and good morning, and
23 hopefully we'll be able to bring that laborious reading to
24 life today.

25 First of all, my name is Ivin Rhyne; I'm the

1 manager of the Electricity Analysis Office here, at the
2 California Energy Commission.

3 And I'm here today to just start us off with a
4 brief introduction to levelized costs of generation project
5 for this IEPR cycle, and to give us some context about --
6 for the remainder of the discussion for today's workshop.

7 The project, itself, is a collaboration between
8 several Commissions projects -- sorry, Commissions programs'
9 consultants bringing together a pretty strong mix of
10 technical expertise.

11 For the results of the study, the Cost Generation
12 Study will support the development of the 2009 IEPR, and
13 we've conducted similar analysis for the 2003 and the 2007
14 reports and improved the scope of the analysis each time.

15 This is a public domain model for others to use
16 and we have many requests throughout the course of the year
17 to make use of this and elements of this tool, not just its
18 outputs but, in many cases, its inputs.

19 The project is one of the fundamental building
20 blocks for conducting electricity resource planning studies
21 and evaluations of the attributes of different generation
22 options.

23 The Electricity Analysis Office undertook the task
24 of updating and revising the cost of generation model. And
25 as the Commissioner said, many of those updates were at the

1 request of the previous IEPR Committee.

2 The primary tasks were to update the model inputs,
3 study how factors change over time, include the effects of
4 uncertainty in variables, a very important piece, and to
5 produce a range of current and future levelized costs,
6 rather than just a single point estimate of costs.

7 Now, we had several goals in mind for the project.
8 And as I mentioned earlier, we did develop a model in
9 previous IEPR cycles. We've used proprietary models in the
10 past that were something of a black box, so we embarked on
11 an effort to create an easy to use and transparent model,
12 and transparency is really the key.

13 We wanted to have a tool that would -- that could
14 functionally provide different levels of analysis. For
15 example, we wanted a tool that could provide sensitivity
16 estimates with varying input assumptions to understand how
17 uncertainties may affect the cost calculations.

18 Another goal is to have consistent set of input
19 assumptions that apply to different generation technologies.

20 We also wanted to easily create screening curves
21 that could be easier to compare the different types of
22 generation technologies operating at similar capacity
23 factors.

24 Now that transparency idea is key in the next
25 slide. This is a graphic that shows really seven different

1 studies that can be used to kind of generate a range of
2 costs across, as you can see, seven different technologies.

3 But as a colleague of mine, and one of the key
4 authors of the reports says, the devil is really in the
5 details.

6 It's difficult to actually do comparisons of these
7 technologies because we don't always have access to the
8 assumptions and even if we do, we have to wade through them
9 and determine why and how different those assumptions are in
10 each individual case to determine whether or not we're
11 making an apples-to-apples comparison across these studies.

12 And so while the difference of the studies here
13 does produce a range, it's difficult to discern the reasons
14 for that range and to make valid conclusions for policy
15 purposes based on that.

16 So rather than that, we've done this and this, by
17 the way, although it's rather busy, is just an example of
18 four technologies that had been used inside of a single
19 model and then different inputs are varied across that. So
20 this is called a sensitivity curve.

21 And the idea is that for each of these
22 technologies, as we vary the inputs these curves show by
23 what rate or by how much the output, the result changes.
24 And this gives us a more effective and, we think, a more
25 useful output rather than just multiple black box models.

1 So in this case, for example, we've changed things
2 like capacity factor, range of installed cost, cost of debt,
3 all of these inputs can change and as they change, they
4 change the outputs.

5 One point I'd like to make here is that we would
6 like to emphasize that there really is no single fuel price
7 forecast that can always accurately predict pricing points
8 in the future. And fuel, in many of these cases, is a
9 really important input to the process.

10 A range of fuel cost is far more appropriate for
11 any kind of project analysis. And we can also create cost
12 curves that take into account those range of possible fuel
13 costs.

14 We've also found that, contrary to what one would
15 expect, when comparing similar models but with the same
16 input assumptions the results really do differ, and
17 sometimes by a large amount, because of varying levels of
18 simplicity and different treatment of the assumptions.
19 Literally, they're put together in different ways and,
20 therefore, even with the same inputs you get different
21 outputs.

22 This is the fundamental reason why I think a
23 simple comparison of different levelized cost studies is
24 really not -- is not effective unless it's done across a
25 single model with a wide range of input assumptions.

1 So the application of the Levelized Cost of
2 Generation Project, so there are multiple users of this
3 project. Within the Commission it's been used as part of
4 the Scenarios Project in the 2007 IEPR, the retail
5 electricity prices, technology summaries in the Renewable
6 Energy Office, transmission studies, and Title 24. It
7 serves as an input for many of the things that we do
8 internally.

9 But externally as well, outside of the Commission
10 we have requests from the Legislature, from the California
11 Public Utilities Commission to provide modeling, model
12 evaluation or data, all of this is involved. We often get
13 request from the ISO, the Independent System Operator,
14 requests from consultants, developers, financial
15 institutions to evaluate project investments.

16 Just to be clear, this is used not just in its
17 outputs, but oftentimes its inputs and assumptions are just
18 as important to those who are seeking this kind of
19 information.

20 Now, the reality is that like any model, this
21 model has limitations and we'd like to just make those clear
22 up front.

23 Assumptions are variable and you can have high,
24 low trend numbers, and in many of the figures we've shown
25 you can see that the outputs really change a lot. And

1 depending on which assumptions you choose, the output will
2 certainly be different.

3 And in some cases you can't know how the system
4 will affect the technology and vice-versa; you can't always
5 know how the technology will affect the system.

6 And these are the kinds of things that in a
7 perfect world, where we all had omniscience, these kinds of
8 models would, of course, be unnecessary. But the reality is
9 we have to make use of the pieces that we put together here.

10 And so the agenda for this workshop, start with a
11 summary of the levelized cost of generation results,
12 overview of the cost of generation model and its latest
13 modifications, review of the cost drivers for renewables,
14 integrated gasification, combined cycle, nuclear generation
15 technologies, and preliminary characterization of building
16 and community scale renewable technology costs.

17 Finally, there are several questions that we would
18 appreciate feedback from the participants here, at the
19 workshop, and those in WebEx, and those also who might
20 listen in and then choose to comment later on, during the
21 comment period.

22 We'd like the workshop participants to consider
23 the questions; how might the cost of generation effort be
24 revised to make it more useful? It's important to us that
25 what we do serves -- serves the consumers of this report in

1 useful ways.

2 Do the technology of levelized costs appear to be
3 reasonable and, if not, why not?

4 And are the tax and tax credit assumptions
5 reasonable? And these assumptions actually are one of the
6 key changes that were made this year to the Levelized Cost
7 of Generation Report and our -- our subject matter experts
8 will be getting into that in far more detail.

9 And so for the next steps we're going to modify
10 renewables, the integrated gasification, and nuclear
11 generation levelized costs based on today's workshop
12 comments and compelling information. We're going to post
13 the staff model and users' guide. And the final staff
14 report should be posted in September of this year.

15 And so with that, I believe I am done.

16 MS. GREEN: Our next speaker is Richard McCann,
17 from Aspen Environmental Group.

18 MR. MC CANN: Good morning, I'm Dr. Richard
19 McCann, with Aspen Environmental Group. And I'm actually
20 standing in, in part, for Joel Kline, who is the staff
21 project manager, who has contributed at least as much as I
22 have to this whole process. But he's singing in the Alps
23 today, is that right, in Austria, so he's not available to
24 bestow his wisdom on us.

25 COMMISSIONER BOYD: Singing in the Alps or singing

1 because he's in the Alps.

2 MR. MC CANN: Well, Joel sent us an e-mail
3 yesterday from Austria, that we couldn't believe it, so I
4 think he's just singing there because he has to be there.

5 So I'm going to talk about the structure of the
6 model in a very -- at a high level because the alternative
7 is to spend two hours talking to you about the details of
8 the model, so I'm going to try to do this fairly quickly.
9 And then I'm going to talk about the changes in the model
10 that we've made, and some of the implications of that.

11 And I'm going to start, first off, with discussing
12 a definition of levelized costs, because that's really the
13 core output of the model. And I'm not sure that everybody
14 always understands what we're talking about, when we talked
15 about levelized costs.

16 Levelized costs, basically, is a way of converting
17 unequal annual costs to a constant cost term, a value that
18 you can compare, a single value that you can compare between
19 different technologies.

20 And you begin by finding the present value of the
21 annual, the stream of annual costs over time and then
22 converting that into a single present value amount using, in
23 this case using a couple of Excel spreadsheet model
24 functions.

25 This conversion process is exactly the same on

1 that you use when you're calculating your mortgage payment
2 on your home. So that's when you are paying that monthly
3 payment, this is exactly the same process.

4 And so what it does is it allows you to have a
5 single value to compare resource costs, as long as you
6 understand all of the assumptions that go into those
7 resource costs, and we're going to talk about some of those
8 assumptions further on here.

9 And so one of the things about it, though, is that
10 to understand that the levelized cost comparisons are only
11 an approximate comparison, there's a lot of other things
12 that go into having to do analyses with these costs in order
13 to get really true comparisons. And in fact, what you
14 really need to do is move to system modeling, that these
15 costs are simply an input into a larger modeling effort.
16 You can't just take these costs, simply, and compare them to
17 each other and say, ah-ha, this technology's less costly
18 than the other, that's not really appropriate to do with
19 these results, but they're useful guides.

20 So what I'm going to do is just walk through a
21 couple of examples. And that Power Point came up kind of
22 strange, didn't it?

23 So on the left-hand side we have the cost per
24 megawatt hour of different technologies, and those values
25 range from 80 to 140 dollars a megawatt hour, these are just

1 example technologies.

2 And you can see how the costs escalate over time
3 between the two different technologies. The technology A,
4 which is in red, starts at a lower cost but escalates more
5 rapidly over time and technology B escalates at a slower
6 rate, even though it has a lower -- a higher initial cost.

7 And we would like to know, simply, over this 20-
8 year time period how do these two technology costs actually
9 compare to each other.

10 And so the first step is to go through and develop
11 the levelized costs and so what we do is we take technology
12 A, and we take that value that is escalating and convert it
13 into a constant annual payment and, in this case, it's
14 around \$103 a megawatt hour.

15 And we do the same for technology B and we can
16 compare technology A to technology B.

17 And in this case, where we have this particular
18 set of assumptions, we find that technology B is higher cost
19 that technology A over a 20-year time period.

20 Now, there are important -- you can make different
21 assumptions that could change this ranking and it's
22 important to understand what those underlying assumptions
23 are, and in our model we've tried to be as transparent as
24 possible, putting those assumptions up front on the
25 input/output page, and so that you're able to see the key

1 assumptions in the model.

2 Moving on to the overview of the model structure,
3 this particular chart shows the complexity of the model, but
4 also shows, we hope, the transparency of the model.

5 We start on the left-hand side with the inputs.
6 There's the plant characteristics, these are the physical
7 characteristics of the plant, a number of different elements
8 that go into that particular cost, into the description of
9 the particular plant.

10 There's the plant cost data and all of that is
11 information that is the dollars and cents that result from
12 the model come from that plant cost data.

13 We have the financial assumptions and they vary by
14 ownership type, whether they're merchant, POU, or IOU,
15 publicly owned or investor owned utilities, and the amount
16 of debt in equity shares, the cost, the terms of that debt.

17 And then we have more general assumptions about
18 insurance, O&M, various labor escalation cost rates and
19 then, finally, the fuel forecast.

20 And then we also have the tax information that
21 goes into the model. It terms out that how the taxes are
22 treated in the model are very important when you are looking
23 at the ranges, and Al's going to talk about this some more.
24 What we assume about taxes has a very big influence on the
25 final results.

1 Looking on the right-hand side, where we have the
2 outputs, the important outputs are the one in the middle,
3 which is the total levelized costs, that's the one that you
4 probably have most interest in.

5 And then Ivin talked about the screening curves
6 and the sensitivity curves, which are ways of measuring how
7 the model results change based on different assumptions.

8 And we've also incorporated having high and low
9 cost balance in the model for the first time, which we
10 believe is a very important step and a result, and something
11 that should be incorporated in future analyses.

12 We also went through a data gathering process.
13 We're going to have a presentation this afternoon.
14 Actually, I think that Gerry Braun's going to talk about
15 this, initially, and then there's going to be more
16 discussion later on about the data for the renewables,
17 nuclear, and coal plants that are included in that. Those
18 results can from the PIER group. That particular report is
19 online, along with the staff draft of this report.

20 And those results were developed in a way that
21 could be comparable with the results for the gas-fired
22 generation.

23 We built the gas-fired generation data based on
24 the survey results that we did in 2007, where we surveyed
25 over 40 plants statewide. We believe that this particular

1 study is probably the most authoritative study on generation
2 plant cost data in the country, because no other analysis
3 that we've come across has surveyed so many actual plants in
4 terms of their actual costs, both construction and operating
5 costs.

6 And then we've updated that both for construction
7 inflation and also for comparisons with other entities that
8 also do similar kinds of studies.

9 And so I want to talk about the changes in the
10 model that we've had since the 2007 IEPR, and as both
11 Commissioners pointed out, that we have responded to several
12 requests, including incorporating ranges of changes and
13 trends in costs over time.

14 Trends are particularly important for looking at
15 the renewables because many of them have -- expect to have
16 declining costs because of various factors, like learning by
17 doing and economies of scale.

18 So we have trends that go up from 2009 to 2028.
19 We've also separated out what we call transmission
20 transaction costs that are the costs of transmission getting
21 from the first point of interconnection to the load center,
22 so that we clearly identify what the transmission, the full
23 range of transmission interconnection costs are, what they
24 are in the model, and those assumptions can be varied in the
25 model quite easily.

1 We also changed the way we did the accounting for
2 merchant-owned levelized costs, because we explored it some
3 more with various models and found that we could come up
4 with a better modeling technique than what we had used
5 before.

6 We've updated the tax information and the various
7 incentives, especially since the Federal law changed
8 substantially, both in the fall of 2008 and again in
9 February of 2009.

10 And then we also have looked at the question of
11 tax accounting issues, because the financial meltdown in the
12 fall changed the way that tax credits are now incorporated
13 into the financing process.

14 So I'm going to talk about a couple of these
15 changes, not all of them, but the most important one, the
16 first one is the comparison of accounting methods.

17 We have two methods in the model, one is a revenue
18 requirements method, which is essentially the way that
19 utilities do rate making; and the second is doing a cash
20 flow type modeling, which mimics the way that investors in
21 merchant plants look at how they are going to cover their
22 costs for their power plants.

23 One of the interesting things we've found is that
24 the revenue requirements methodology implied a much higher
25 levelized costs for merchant power plants than using the

1 cash flow method, and we were surprised at the difference in
2 the results.

3 The revenue requirements method, in this case the
4 equity payments -- this is return on -- return of equity and
5 return on equity, and the payments decreased uniformly over
6 time. The revenues will change, fluctuate over time,
7 depending on what the specified revenue requirements are for
8 each one of the individual power plants, and this is
9 basically the way utility rate making works.

10 In the case of cash flow modeling, it's the market
11 price that drives the model. So what you're doing is trying
12 to solve for a market price that, in the case we were
13 looking at, long-term power prices, and so we assumed a
14 relatively constant revenue stream that increased at a
15 specified escalation rate, and that escalation rate is
16 described in the model about how that occurs.

17 And there's -- there are different ways of doing
18 the revenue requirements assessment for merchant power
19 plants, but it's important to understand that there is this
20 very different type of approach between the two different
21 types of models. The utility base being it's really cost-
22 based and that's converted into revenue requirements, and
23 the other one being it's price-based and now you got to
24 figure out how you cover your expenses based on having that
25 revenue stream.

1 In both cases the debt and operating expenses are
2 the same between the two types of modeling. The debt terms
3 vary between ownership type and that's specified in the
4 model.

5 But the revenue taxes and equity payments are
6 different between the two different ownership types and two
7 different modeling structures.

8 So this compares the revenue requirements, the
9 revenue streams, between the two different types of modeling
10 for the merchant power plants.

11 Now, this particular graphic is not actually used
12 in the model, but we produced it just for comparison
13 purposes. This would be what the revenue streams would be
14 for a merchant-owned power plant under revenue requirement
15 modeling, and you can see there's these large, in some cases
16 very large tax credits that are delivered to the merchants,
17 operators in the first initial year of operations, and then
18 the revenue streams can vary significantly over the time
19 period.

20 Whereas in the case of the cash flow account --
21 oh, I just want to note that the scale on the left-hand side
22 is not identical, not the same between these two graphics,
23 so you can't make a direct comparison.

24 But in this case you can see that the revenue
25 stream is relatively constant over time because these are

1 specified in the contract terms ahead of time.

2 And then we looked at transmission costs. We have
3 the interconnection cost, that is the connection to the
4 first point of interconnection into the transmission system,
5 and these costs are rolled into the capital costs.

6 In the case of the gas-fired power plants, they're
7 actually rolled into the total linear costs which includes,
8 for example, sewer, and water line, and natural gas supply
9 lines into the power plant.

10 And then we have transmission transaction costs
11 and these are the costs from the point of -- the first point
12 of interconnection, which is usually the closest substation,
13 out to the load center.

14 And the way we estimate those costs was through a
15 combination of the ISO tariffs for those costs and
16 additional transmission investment costs that were estimated
17 in the 2007 IEPR scenarios analysis, and those costs vary by
18 technology and by region.

19 So the other updates that we made in the model, in
20 terms of assumptions, is we updated the renewable and
21 alternative technology costs, and those are going to be
22 discussed more in this workshop. They were also discussed
23 extensively at the April 16th workshop, and so that
24 information has been covered in the past.

25 We also updated the gas-fired technology costs, as

1 I discussed, updating the survey results and looking at
2 other models.

3 We incorporated ranges for gas price forecasts,
4 and I'll talk a little bit about that.

5 And then we updated and differentiated the
6 financing assumptions that were in the model. We included
7 ranges of financing costs; we were much more detailed in
8 looking at a cost for the different ownership types,
9 particularly for merchant power plants.

10 And one of the things is that for the merchant
11 owners there's, of course, a lot of uncertainty about their
12 financing costs due to the financial situation that really
13 erupted last summer, in 2008, and has not yet settled.

14 And so to the extent one of the interesting things
15 that we would like to know is are our financing assumptions
16 for merchant owners really up to date and accurate, and we
17 would like a substantial amount of input on that particular
18 issue.

19 Talking about the range of gas forecasts, we came
20 up with a methodology of estimating a range of potential gas
21 forecast and it's based on looking at what the error rate
22 was in past forecasts.

23 So for example -- for example, what we looked at
24 was what was the EIA forecast in 1990 for gas prices and
25 then compared to what actually happened compared to that

1 forecast.

2 And so these bounding lines, the high average and
3 the lower average are essentially how -- measure how far off
4 the forecasters were in the past and assume, well, they
5 should probably be about as far off into the future as they
6 were in the past. And so that's how we came up with a
7 bounding range on the gas price forecast.

8 That average forecast is based on the 2007? -- the
9 2007 IEPR gas price forecast.

10 And then you can see, compare to other single
11 point forecasts that have been used in other forums, the E-3
12 forecast being the -- in the various PUC proceedings, the
13 gas utilities forecast that was put together in the green
14 line, and then the 2008 Energy Information Administration
15 forecast that was done last December, and you can see how
16 all of those forecasts go forward in comparison.

17 And then finally we looked at the increases in
18 capital costs for the different gas-fired technologies and
19 you can see the increases in costs. Most of the increases
20 in these costs are due to construction inflation. There was
21 substantial increases in construction costs from about 2003
22 onto 2008.

23 This is using the data that we have to this point;
24 it's a little unclear as to how construction costs will
25 change over the next several years because of the very large

1 change in the economy. But that's what we've got in the
2 model right now between the two cases.

3 And with that, I conclude, and Al Alvarado's going
4 to come up and discuss the model results and the
5 implications of those model results, with you.

6 Oh, Gerry. Excuse me, Gerry Braun's going to come
7 up and talk about the renewables cost drivers.

8 MR. BRAUN: Good morning, Commissioners and
9 Advisors.

10 What I'd like to do, briefly, is talk about the
11 progress we've made this year in providing good data for the
12 analysis that Richard described, and a little bit on
13 additional progress that's going to be needed going forward.

14 Before I do that, I'd like to acknowledge a couple
15 of contributions that really made all of the whole team
16 contribution possible. John Henschon (phonetic) managed the
17 PIER-funded project and Valerie Nibler managed it on the
18 KEMA side, and their efforts really were exemplary, and I
19 think credit's due to them for much of the progress that we
20 were able to make this year.

21 I want to go back very briefly to the April
22 workshop, that Commissioner Byron mentioned, and we talked
23 about cost drivers in that workshop and we had some
24 recommendations at that time, and I'd like to just briefly
25 summarize those, and then focus on trying to get our minds

1 around what do we mean by cost drivers, what are the major
2 categories, and what progress did we make this year, and
3 some questions that came out of the overall effort.

4 In April, we basically pointed to the need to look
5 across the whole menu of renewable energy options. There's
6 basically a five order of magnitude scale difference from
7 the largest utility scale plants to the systems that are
8 deployed on buildings.

9 And we have a lot of experience at utility scale;
10 we have growing experience at the building scale with the
11 California Solar Initiative.

12 We don't have -- technology-by-technology we have
13 some experience at the community scale, but don't have
14 integrated renewable or integrated generation systems at the
15 community scale to any great extent.

16 The bottom line in talking about the data is,
17 basically, enormous diversity and endless variation, and
18 somehow boiling that down so that we can give a small set of
19 assumptions for modeling purposes is really the challenge.

20 So KEMA was asked to improve our cost baselines
21 for renewable technology and to help us think forward to how
22 we would go beyond simply the costs indexed to
23 undifferentiated kilowatt hours and think also in terms of
24 the relationship of cost to value, and not just the cost of
25 energy delivered to the buyer, but costs delivered to energy

1 customers.

2 So our recommendations in April were to try to
3 boil things down to what we think will be the major
4 contributors in renewable technologies in the longer term,
5 focus on them, and try to understand how the global market
6 is shaping not just the costs, but the technology options
7 available to us.

8 And then, also, start to give some attention to
9 integrated energy system cost, recognizing that no renewable
10 technology can do it all, as in the case in the past, we
11 need a mix of new sources. We need to look at natural gas
12 as an enabler, rather than an alternative to renewables, and
13 we need to optimize the whole generation system.

14 This is my multiple moving targets chart. And the
15 point is that there is diversity in several categories that
16 needs to be accounted for. Resources vary within
17 California; all of the renewable resources are of different
18 qualities, depending on where you are in the State.

19 Technologies are diverse, emerging and mature
20 technologies and the applications of the technology and the
21 scale at which they are deployed. And this chart really is
22 just -- you've seen it before, but it attempts to kind of
23 convey the point that we need to get our arms around the
24 matter of diversity.

25 And this diversity also affects -- it drives the

1 diversity in how projects are financed, and Richard alluded
2 to this in his talk, that when you get into the details the
3 differences in renewable technologies and their attributes
4 really create the need to design the financing model for a
5 project differently in each case, and we need to begin to
6 understand how that works.

7 We weren't totally consistent in our definition of
8 cost driver this year, and I don't think it -- I thought it
9 was probably okay. There are a couple of ways that you can
10 define the term.

11 The one that I like is a factor that causes a
12 change in the cost, and we'll talk about that in -- as a
13 major way of looking at how costs might evolve in the
14 future.

15 But, obviously, the major parts of the cost build-
16 up are also cost drivers.

17 In general, though, it's experience that results
18 in the ability to change costs, and competition basically
19 drives the change based on experience. And there are
20 several ways, things that experience can help with.

21 First, just different technologies in different
22 ways, energy capture, energy conversion, the scale of the
23 plant, the scale of the equipment, the scale of
24 manufacturing, all of these hinge on experience.

25 For example, in geothermal, energy capture is

1 probably -- you know, what's going on underground is really
2 important, and experience allows us to do a better job of
3 designing ways to capture the energy.

4 Biomass we talked about in April, we talked about
5 biomass, forest residue tora faction, that's part of the
6 conversion process.

7 Solar thermal plants have, you know, the scale --
8 they're still not at the full scale commercially that they
9 want to be at, and getting to that scale is going to reduce
10 costs.

11 Wind turbines have scaled up by a factor of a
12 hundred over the last 20 years and that's had a big effect
13 on costs.

14 And likewise, the photovoltaic factories, panel
15 factories have scaled up by a factor of a hundred and that's
16 had a big effect as well.

17 And these are all experience-driven innovation, as
18 well as using enabling technologies, like high-temperature
19 thermal storage, to change the value equation, it also
20 changes the cost equation, and those two things have to be
21 optimized together.

22 So what we -- what we recognized in trying to
23 refine a menu of technologies to look at is that
24 technologies that are not in commercial use, their costs are
25 really a matter of speculation.

1 And so we basically tried to differentiate between
2 where we had experience that could be used to come up with
3 good, reliable costs, and where we didn't, and we selected
4 technologies in each range of scale because the scale of the
5 technologies also matters.

6 If you have the right choice of technology, but
7 you don't do your cost estimation based on the scale that
8 it's actually being used, you won't get the right answer.

9 And so our menu pared down because we were -- we
10 were focusing on where we have experience. But we also
11 added some options where there is experience, including
12 solar thermal power that uses high-temperature storage,
13 that's commercially in use; co-firing of coal plants with
14 biomass; upgrading hydro electric plants to increase
15 capacity; and higher quality wind resources than those that
16 were assumed in 2007, because there are such high-quality
17 resources available in California.

18 And then we kind of put into a separate category
19 things that probably are going to come on stream, probably
20 we will have the experience, but we don't yet, high
21 concentration solar thermal plants, concentrating
22 photovoltaics plants.

23 Offshore wind is now a commercial option. In some
24 areas where the -- where you're not dealing with the kind of
25 deep water deployment that we would have to do in

1 California, and designs for deep water deployment are being
2 developed; wave energy, integrated gasification combined
3 cycle with carbon capture, again, not commercial yet, but
4 something that may come, and next-generation nuclear power
5 plants.

6 So this is the menu. And as you can see, we
7 looked at each item on the menu at a specific scale and in
8 most cases we're looking at current technologies, in some
9 cases we're looking at technologies where we don't think
10 we'll have good data for the next ten years, but after that
11 we may.

12 And there's one item missing on this list, that
13 probably is in the data starting in 2018 category. Bill
14 Glasley, from our California Geothermal Energy Collaborative
15 pointed out that the Federal government has set aside;
16 recently, \$400 million to address enhanced geothermal
17 technologies that would essentially expand greatly the
18 resources available for geothermal deployment.

19 We use, now, the resources where there's both heat
20 and fluid in the right geologic configuration.

21 The enhanced geothermal basically creates the
22 geological configuration where there's the heat, so that you
23 can extract energy from that.

24 And that's something that's on the horizon and it
25 probably should have been on this list, but at the time we

1 weren't expecting what -- the new initiative from the
2 government.

3 So these are a couple of -- just I wanted to show
4 this chart to indicate that each menu option had a different
5 set of cost drivers. In some cases they were mostly just
6 the elements of cost that build up to the total and others
7 there were a combination of things that influenced costs,
8 and things that add up to the total cost.

9 And as Richard indicated, we were asked to not
10 just come up with nominal costs, as in 2007, but high and
11 low costs that are plausible, and in the same cost
12 breakdown, and with the ability to project these costs
13 forward for the next 20 years, and so this is just an
14 example of how the data was categorized and presented.

15 One of the things that I think is very important,
16 that KEMA was able to accomplish, was to create a
17 spreadsheet model that would allow -- allow this goal of
18 being able to develop a cost forecast or trajectories for
19 each technology to be done in a credible way, rather than
20 kind of just guessing.

21 And basically, the model relies on what are called
22 progress ratios, which is the key parameter in creating
23 experience curves. And so this is just an example of one
24 case where we have progress ratios for the average cost and
25 then we use the weighting of the cost breakdown in the -- in

1 wind turbines to come up with a weighted average progress
2 ratio for the low and high cases.

3 And I'm sorry, I don't mean to take us down into
4 the weaves, but I think it's really important to be able to
5 have -- to be able to change the assumptions and to
6 translate that into changed forecasts, because we will be
7 continually working with the assumptions and we need to be
8 able to plug those new assumptions in to the same model we
9 used in the past to forecast.

10 So this is basically just what was done, was to
11 use the progress ratios to forecast how costs will change as
12 the amount of install capacity changes from year to year.

13 I think you're all familiar with that formulation.

14 The important thing to note, I think, is that as
15 you begin to look, as you look at things this way, with this
16 kind of an understanding that experience is really driving
17 things, it is the industries that are growing the fastest
18 that will generate experience the fastest, and we need to
19 keep that in mind.

20 Some of the biggest contributors are growing, you
21 know, there's a lot of installed capacity and the growth is
22 not rapid. In other cases, the industries are at their
23 early stage and they're growing very rapidly. So we would
24 expect to see faster progress in cost reduction for those
25 with higher growth rates.

1 One of the things from 2007, that we realized, was
2 that there were some areas where costs that were coming out
3 of our efforts were not necessarily in sync with the pricing
4 in the market. Solar photovoltaics was an example.

5 And we asked KEMA, in 2009, to try to get some
6 reference to pricing benchmarks, and other benchmarks, and
7 other types of analysis that would help us validate the
8 costs that are coming out of our levelized cost analysis.

9 And I would say we were -- this is a work in
10 progress. We have some references, but we weren't able to
11 get direct pricing data for all of the technologies.

12 One of the things that I would mention here is
13 that it's pretty clear that our cost ranges are large, but
14 the average costs and the low costs are really the ones that
15 we need to focus on because, quite frankly, in many cases,
16 the high costs are not going to be paid. We need to
17 understand what the competitive cost range is going forward.

18 And the last thing we did was to try to account
19 for scale, and you'll hear more about that this afternoon.
20 And I should point out that the first four tasks that KEMA
21 did are included in the interim report that you have. The
22 last two tasks, related to price cost reconciliation and
23 building and community scale technologies are -- will be in
24 the final report, which we may not convert into a document,
25 but will be available to those interested.

1 And I want to comment a little bit, this was not
2 our task, Peter and KEMA were not asked to deal with this,
3 but it's almost impossible to escape looking at this, the
4 fact that debt and equity costs, especially in the turbulent
5 period of the last two or three years, have probably had a
6 bigger effect on delivered energy costs and bus par costs
7 than the changes in the costs of the plants.

8 And basically, the financial meltdown, the
9 recession, the stimulus legislation, those things that
10 Richard mentioned, are big factors.

11 And in determining the weighted average costs that
12 apply, across the board, but they apply differently, they
13 are affected differently for each technology.

14 I don't think we have a great understanding of
15 that, yet, we need to understand it better, and that's kind
16 of why I put the -- I put the little illustrations here
17 askew because I was hoping to say something more about that,
18 but I realized we just need to do more work in this area.

19 So in summary, we've made some progress. We've
20 focused on those options where cost experience can inform us
21 and inform our work. We've identified which other options
22 we should be monitoring closely. We've done a better job in
23 identifying the representative scale of the projects that we
24 should be looking at.

25 We recognize that the menu of renewable

1 technologies is not just utility scale plants, but a whole
2 size range from building to utility scale.

3 We have started the work of coming up with cost
4 ranges based on specific technology cost build up.

5 We've used I think, for the first time, experience
6 curves to actually forecast future costs.

7 We've added -- even though renewable energy
8 heating and cooling is not a -- doesn't contribute to
9 electricity production, it affects the amount of renewable
10 electricity production required and we've started to address
11 that.

12 And we've started to do a better job of putting
13 our estimates in the context of others' cost studies and
14 pricing benchmarks.

15 In the future we need better accuracy, especially
16 for the high penetration renewable options, and at all
17 deployment scales.

18 We need to start looking at the value side of the
19 equation.

20 We need to -- we need a better understanding of
21 the relationship between plant costs and costs of financing,
22 we need to integrate our thinking a little bit more on that.

23 And we need a better handle on not the total cost
24 range, but the competitive cost range for the renewable
25 technology.

1 So a lot of work on cost forecasting, I won't go
2 into all of the things that need to be looked at, but there
3 are several.

4 And lastly, I want to summarize kind of the
5 questions that come to mind as you go through a project like
6 this. Is there a need, you know, we're doing these cost
7 updates every two years, and if the last couple years are
8 any indication, the shelf life of the results is probably
9 not two years, should there be ongoing efforts to monitor
10 not just the technology progress, but also the changes in
11 costs?

12 Do we need to also monitor the changes and the
13 shifts that are occurring in real time, and the cost of
14 capital, that are changing, you know, basically changing
15 decisions about deployment?

16 Do we need more work to validate our levelized
17 cost results?

18 And, I mean, this is just something that occurred
19 to me, it seems to me that the variability in the cost of
20 natural gas-based options and renewable options ought to be,
21 you know, either one's more variable than the other or, it's
22 hard to believe that they're both equally variable. We're
23 using one as a benchmark for the other.

24 I think we need to better understand the
25 variability question and the question would be how do we do

1 that?

2 Is it possible to expand or somehow include the
3 issue of value in this kind of analysis, in an integrated
4 way?

5 And how can we better secure the informed review
6 of the active market participants in validating our work?

7 Thank you.

8 I think we didn't ask, yet, if you have any
9 questions but --

10 COMMISSIONER BOYD: A simple question on how
11 you're -- practically your last point here about
12 variability, and your two comparisons. I was just
13 wondering, even those costs of gas technology escalate,
14 which you document here, is the variability with gas tied
15 almost exclusively to the variability of the price of
16 natural gas that we've all struggled with the last couple of
17 years in trying to get a fix on -- trying to do accurate
18 costs estimates.

19 Versus the other technology where, I guess,
20 technology development costs are still swinging around, as
21 well as costs associated with siting and what have you. I
22 don't know, am I way out in space somewhere or --

23 MR. BRAUN: I'll just -- I'll give you a simple
24 answer to that. Renewable energy technologies are almost
25 all, with the exception of biomass, capital intensive, and

1 most of the total levelized cost is related to capital.

2 With natural gas it's the other way around, most
3 of it is related to the 20 or 30 years worth of fuel
4 purchases that are required and it, of course, depends on
5 what type of plant and so forth.

6 And that's the reason for the question because
7 once you build a renewable power plant, if you are building
8 a plant with mature technology, you really should know
9 pretty well what it's going to cost, and there isn't this
10 big question mark in terms of what is the stream of costs
11 that's going to come in the future because you've paid up
12 front.

13 Whereas, that's not the case with a natural gas
14 type plant.

15 Does that help?

16 COMMISSIONER BOYD: That helps. The fuel for some
17 renewables is free.

18 MR. BRAUN: Yeah, it is. It is.

19 COMMISSIONER BYRON: Mr. Braun?

20 MR. BRAUN: Yes, sir?

21 COMMISSIONER BYRON: Maybe a couple of comments
22 and questions, I'll start with the questions.

23 As I was looking at your presentation, the table
24 that you've used before -- let me start this way. We ask
25 you to be an economist, and an engineer, and a private

1 detective; right, and a lot of this is really trying to find
2 the information that you need to do the analysis.

3 In fact, I note that your last slide -- oh, I
4 think I'm looking at the next presentation.

5 Your last slide really concentrates a lot of the
6 information around renewables that you don't have access to.

7 MR. BRAUN: Right.

8 COMMISSIONER BYRON: However, I note that this
9 Commission has half a dozen cases before us, there's a lot
10 of cost information that's out there but, yet, it's tied up
11 in the procurement process through nondisclosure agreements.
12 And, of course, it's highly competitive information that the
13 utilities tell us that they need to keep to themselves to
14 protect customers' costs.

15 But, of course, we'll see later on, when Mr.
16 Alvarado gets into the results, the costs for the IOUs seem
17 to be a little higher than the others.

18 Where I'm going with all this is that information
19 is there and I'm just always perplexed why we don't make it
20 more available, and how helpful it could be in making a more
21 competitive marketplace; do you agree?

22 MR. BRAUN: I do agree. And certainly what's
23 gotten my attention is the emerging debate, policy debate
24 over, you know, the cost of the portfolio implementation,
25 the cost of feed-in tariffs, the cost of whatever we decide

1 to do to meet California's energy needs.

2 There are some huge investments involved and
3 getting the best possible cost information is really
4 important.

5 And as you say, Commissioner, the best information
6 really is the information that is the hardest to get at.
7 And I would like to believe that, you know, a more vigorous
8 digging on our part would help but, probably, there are
9 other things that would help as well, and I don't really
10 have any specific suggestions.

11 COMMISSIONER BYRON: Well, I just look at the
12 variability around your costs, for instance associated with
13 solar photovoltaic, and they're extremely -- the range is
14 extremely high. And maybe that's true and the bid
15 information would reflect that and I personally don't know
16 how that would hurt consumers, because the next bid would be
17 even more competitive, I suspect.

18 Let me go back to early on when you were talking
19 about -- well, yeah, let's talk about storage. Early on you
20 talked about, you know, the high temperature storage and the
21 value cost innovation around that. Have you thought about
22 or have you begun to think about how to incorporate that in
23 your cost of generation model?

24 MR. BRAUN: Yes, we did and, in fact, KEMA did
25 generate two sets of costs for solar parabolic trough. One

1 was with, I think it was six or eight hours of energy
2 storage, which significantly, of course -- well,
3 significantly increased the capacity factor in the case that
4 we looked at. It also increased the cost a lot.

5 So the effect on levelized costs may not have been
6 very big, but the effect on the value of the plant to, you
7 know, a particular utility system or a particular electric
8 system might be much different, might be much greater.

9 And that was kind of an example of this issue of
10 getting at the value cost equation.

11 COMMISSIONER BYRON: Yeah, Commissioner Boyd, I
12 know, came back from having looked at a number of -- or at
13 least one facility that had the thermal storage associated
14 with solar and maybe even has more information than you do
15 around cost but, again, that was because it was probably
16 more available.

17 I'll open that up to you, Commissioner Boyd, for
18 any --

19 COMMISSIONER BOYD: Well, I was just thinking, as
20 you were speaking, before you made your comment about my
21 experience that, yes, in Spain they have operating solar
22 thermal with multi-cell storage. And for a 50 percent
23 increase in the cost of the facility they're running 18, 19
24 hours and claim they could go seven by 24, their contracts
25 cut them off at 18 or 19 hours, which seemed like a very

1 intriguing possibility for some parts of California that
2 have got a lot of sun, but no natural gas in the
3 neighborhood, so to speak.

4 But I assume you people can mine that kind of
5 information, I don't think I have anything that's new.

6 MR. BRAUN: Well, KEMA did a good job of mining
7 information on that this year. But it does raise a -- you
8 know, it does raise some interesting policy questions
9 because right now the market is structured, you know, to
10 value that contribution of expanding the capacity factor if
11 it reduces the cost of the kilowatt hour, but not
12 necessarily if it increases the value of when the kilowatt
13 hours are delivered. And that's something that probably
14 would be worth taking a look at.

15 COMMISSIONER BYRON: I'll end with one thing, the
16 table that you have back -- and your slides aren't numbered,
17 but early on the table that showed the primary applications
18 and the second applications, we're certainly beginning to
19 see a lot more solar photovoltaic on a large utility scale.

20 MR. BRAUN: Yeah.

21 COMMISSIONER BYRON: I wonder if that's really a
22 secondary application anymore? It's not proven, yet, but of
23 course we're seeing an awful lot of projects that are being
24 proposed.

25 MR. BRAUN: That's the -- that's the hazard of

1 using a chart that you put together a year or two ago.

2 COMMISSIONER BYRON: That's right, and you're
3 always going to be playing catch up in this game.

4 MR. BRAUN: Yeah.

5 COMMISSIONER BYRON: My sense is, and I'll say
6 this as well for my concluding remarks, that you've done a
7 pretty good job of catching up on this cycle, but it's
8 always going to be catch up with the cost of generation
9 model.

10 Thank you, Mr. Braun.

11 COMMISSIONER BOYD: I'll make one comment to
12 finish the rest of the story on renewables in Spain and, by
13 the way, it didn't cost the taxpayers anything to get me
14 there. I was a guest, along with President Peevey, of the
15 Spanish government.

16 They have a very generous feed-in tariff and they
17 are accruing an incredible debt, government debt, they do
18 not pass the cost on to consumers.

19 My friend, President Peevey, delighted in that
20 factoid, so I think we know where he may stand on feed-in
21 tariffs.

22 The flip side was he was as impressed, or maybe
23 more impressed with the thermal storage and the cost factors
24 related thereto. So I'd say it was productive in that area
25 and he and I, frankly, talked to LADWP about their own slate

1 capabilities and energy storage since there's no natural gas
2 anywhere near Owens Lake that we could find.

3 So anyway, we'll see, costs will tell.

4 COMMISSIONER BYRON: Yeah, I think it speaks well
5 for potential technologies, and they're not always developed
6 here first or applied here first.

7 Mr. Alvarado.

8 MR. ALVARADO: Good morning, my name's Al
9 Alvarado, I'm with the Electricity Analysis Office here, at
10 the Energy Commission.

11 You will see Joel Klein's name up on this set of
12 slides. As Dr. McCann noted, he is actually the master mind
13 for most of this project and, actually, these are his slides
14 that he prepared in anticipation of giving this overview at
15 an earlier date for the workshop.

16 Knowing Joel, he's probably in an internet café in
17 Vienna, you know, listening in on WebEx to make sure that I
18 actually do a decent job in presenting his work.

19 COMMISSIONER BOYD: You mean he would come down
20 from the Alps for this opportunity?

21 MR. ALVARADO: Actually, knowing Joel, he probably
22 would.

23 COMMISSIONER BYRON: And that is an interesting
24 thought, isn't it, that your words are being heard,
25 possibly, around the world.

1 COMMISSIONER BOYD: In a pastry shop in Vienna, in
2 an internet café.

3 MR. ALVARADO: Or with a glass of Pilsner.

4 COMMISSIONER BOYD: Ah, it is late, isn't it?

5 MR. ALVARADO: So is the -- were the element that
6 Dr. McCann presented, and what Gerry had provided, and the
7 contributions of the larger team all come together.

8 What I'm going to do here is just sort of hit the
9 highlights of the results of integrating all of the inputs,
10 the modifications to the tool, and this is where we come up
11 with the estimates of levelized costs for each of the
12 generation technologies.

13 The details are found in both the staff report and
14 most of the more detailed documentation of the input
15 assumptions are also found in the KEMA interim report.

16 What I'm going to do today is basically just hit
17 the highlights of the key results. I also want to provide a
18 comparison of the results that we did back for the 2007
19 IEPR.

20 Dr. McCann provided a snapshot of the tax
21 treatment issues and, as you will see, it actually does have
22 some interesting results in the levelized cost estimates.

23 And I think Ivin also provided a teaser in terms
24 of -- it's actually more of a warning about how these model
25 results, levelized cost results could be used for any sort

1 of electricity resource planning activity.

2 The workshop questions are also presented at the
3 very beginning and this is really intended to try to focus
4 the type of feedback that we are actually seeking.

5 Depending on the feedback we get today, we will
6 then evaluate to see if there's a need to modify any of our
7 assumptions, re-calculations, and in our preparation for the
8 final report, which we expect to release towards the end of
9 September.

10 In summary, the cost of generation results, what I
11 mean by traditional levelized cost reporting is that, like
12 in the last report we did provide a single point levelized
13 cost estimate, so as a starting point here we do have a
14 single point comparison.

15 But given the guidance and directions we received
16 from the 2007 IEPR Committee, we engaged in further efforts
17 to identify trends, not only where the instant costs are
18 today, but where we might expect the instant costs might be
19 in the future, which are the prime drivers for calculating
20 the levelized costs.

21 More significant in this analysis, too, is we've
22 come up with not just one single point of levelized cost
23 estimate; we've come up with a range of both high and low
24 estimates. And you'll see with some of these slides that
25 the range is pretty wide through some of the technologies.

1 And just for a quick comparison, I think the
2 latest report that I've seen, that actually used some
3 levelized cost estimates is the report that was done through
4 the PUC on the 33 percent renewable study.

5 I've just got one slide to show a comparison of
6 the levelized costs they included in that study.

7 These are the levelized cost components but I
8 think the slide that Dr. McCann has, that shows most of the
9 inputs and the outputs probably provide a little bit more
10 greater detail, but this just sort of hits the highlights on
11 what's included in the fixed costs, the variable costs, and
12 the modification that we did this time around has come up
13 with transmission cost components.

14 So this is our single point cost estimate. I call
15 this average because this is where the averages of all the
16 different input variables are applied to come up with the
17 single point cost estimates here.

18 And I'm sure it's kind of difficult to really read
19 the slides, and I think the black and white prints might
20 make it even more difficult for folks, looking at this, in
21 the audience.

22 The main story to take out of this is a comparison
23 with not just the levelized cost estimates between different
24 technologies, but what would be the levelized cost if the
25 developer was either a merchant, an investor-owned utility,

1 or a publicly-owned utility?

2 You find that for some of the technologies the
3 merchant -- the levelized cost for a merchant developer
4 would be significantly higher than an investor-owned
5 utility, or a POU, and part of that's due to the financial
6 cost assumption inputs that a merchant would encounter
7 compared to a utility.

8 COMMISSIONER BYRON: Mr. Alvarado, forgive me for
9 interrupting. There's quite a spread here between the
10 merchants and the POUs. Are we usually essentially the same
11 operating assumptions for all of these peakers? I'm sorry,
12 I'm concentrating on the top three, the peakers.

13 MR. ALVARADO: Right, we're using the -- the
14 assumption characteristics of the peaker would apply to each
15 of the developers, whether it's a merchant, an IOU, or a
16 POU.

17 What really makes the difference there is going to
18 be the financial assumption. A municipal utility will not
19 have the tax burden that a merchant would have.

20 However, on the other hand, a merchant, if you
21 look down at some of the renewable technologies, will have
22 different tax incentives, and that's why you'll see some of
23 the shift between some technologies where a merchant, if a
24 merchant is going to develop a gas-fired plant, it might be
25 relatively expensive.

1 But if you look at some of the renewable
2 technologies, their overall cost might be lower.

3 And with the help of my friends, since these are
4 the folks that really contribute the details, Dr. McCann?

5 MR. MC CANN: Well, at this moment I'm channeling
6 Joel.

7 To answer your specific question about the
8 combined cycle plants, the --

9 COMMISSIONER BYRON: No, actually, the simple
10 cycle plants is what I'm talking about.

11 MR. MC CANN: Right, excuse me, simple cycle,
12 wrong word.

13 The simple cycle plant assumptions are different,
14 the operating -- the capacity factors. It's a ten percent
15 capacity factor for the POUs, because that's what we found
16 historically.

17 But for the merchant operating plants it's five
18 percent. So that is, as you noted, there's this big range.

19 And in that one particular case the capacity
20 factors are substantially different between the two.
21 There's actually some difference in the combined cycle as
22 well, but it's much smaller.

23 COMMISSIONER BYRON: Yeah, that would account for
24 most of that difference?

25 MR. MC CANN: Correct.

1 COMMISSIONER BYRON: Thank you.

2 MR. ALVARADO: Thank you, Richard. Please do come
3 up if I, you know, characterize Joel's work adequately.

4 So to move on. So the next step in the project is
5 to try to come up with a trend of not just what it's going
6 to cost to develop any of these projects today, but what
7 would it cost to develop these projects into the future?

8 And in this case we try to look at the development
9 of cost, this slide shows the instant cost trends from 2009
10 going through 2028.

11 I think what is notable here is that many of the
12 technologies don't really vary significantly in their
13 instant costs, except for a few, and the noted changes are
14 like for the, let's see, solar photovoltaic plants that do
15 sort of cut through all of these other trend lines.

16 In this chart we have instant cost trends for the
17 emerging technologies, and these do start in 2018. And as
18 Gerry Braun pointed out, you know, these are the plants that
19 we had a really difficult time in really trying to come up
20 with good estimates, but I think this is the best shot in
21 coming up with the instant cost for these emerging
22 technologies.

23 Nuclear, at least the one nuclear technology does
24 trend higher in the later years, whereas offshore wind and
25 ocean wave -- offshore wind actually climbs and ocean wave

1 tends to be pretty much level throughout the years.

2 In this slide, this is the -- now, this is the
3 result of the tool, where we come up with the levelized
4 cost. And again, this is just the average cost, the single
5 point forecast of the average cost.

6 In the later slides you'll see the trend in the
7 actual range of the calculated cost.

8 Not much to really say here, other than to
9 illustrate that the simple cycle plants, type of generation
10 technologies are much higher, and you'll find some -- the
11 line down below is pretty compressed, it comprises the coal
12 IGCC plants, and some of the advanced combined cycle plants.

13 This is where the tax implications actually gets
14 manifested. So these are the levelized, average levelized
15 costs for the renewable technologies and you'll see that
16 there is sort of this declining trend for some of the
17 technologies and a quick bump up around 2015.

18 And I think this is really -- I think the effort
19 that Dr. McCann was trying to point out, that the -- and
20 what Gerry's pointing out, that current tax structure really
21 does make a significant difference.

22 I think the open question is what is going to
23 happen once we get to this point where the current tax
24 structure terminates, and whether there's an expectation of
25 whether these trends will either continue or some of these

1 developers are really going to have to take a larger burden
2 on the development costs?

3 The same goes for the baseload technologies. You
4 do see this bump up in the levelized cost estimates and
5 these baseload technologies are renewable, so renewable
6 technology, so they do encounter the bump up in the tax
7 changes.

8 And we broke these charts up because, really,
9 there's so many technologies and we just have one big jungle
10 set of technologies. But again, this is demonstrating that
11 the trend, again, the technologies with the tax
12 implications.

13 This is the -- in this slide we show the -- now
14 the range of levelized costs, and you will see the red line
15 that cuts through each of these bars is the average
16 estimates, which is represented in earlier charts. But
17 you'll note in each of these blue bars that the actual range
18 could be much larger than in comparison from one levelized
19 cost, from one technology to the other.

20 And in some parts, when you're dealing with the
21 simple cycle plants, or any of the combined cycle plants,
22 the main variables are going to be the fuel costs or even
23 the capacity factor. If the plant is operating at a sub
24 optimal capacity factor, it really is going to have a
25 significant impact on the levelized costs estimates.

1 Actually, this probably gives you a better view of
2 not just the ranges, but where the actual numbers sort of
3 fall within the ranges.

4 Some of the technologies, like the hydro small
5 scale, is really, I understand, because these technologies,
6 themselves, the characterizations, there is a wide range in
7 how these plants could be configured to operate.

8 And this chart shows the range of the levelized
9 cost on -- when we're looking out at 2018 to see how much
10 they could really vary also in the future.

11 In this chart, this is where now we include the
12 emerging technologies, the nuclear plants, and some of the
13 other sort of; I guess the wind, the cost for wind, right.

14 COMMISSIONER BYRON: Just so we're reading that
15 figure and the previous figure, in looking back at 14, some
16 of these go off scale; correct?

17 MR. ALVARADO: That's right.

18 COMMISSIONER BYRON: Okay.

19 MR. ALVARADO: The first one, at least for the
20 2009, was the full scale.

21 In this one we're trying to at least blow it up a
22 little bit more so you can actually see the main differences
23 and include the actual levelized costs.

24 COMMISSIONER BYRON: Right, but the simple cycles
25 off to the right there go off scale?

1 MR. ALVARADO: Yes, they do.

2 COMMISSIONER BYRON: Okay.

3 MR. ALVARADO: Now, just for a general comparison
4 to another report, in this slide, the only reason we brought
5 out the PUC report is that that is the most recent one that
6 was used to evaluate the potential cost implications of
7 varying levels of renewable development penetrations.

8 And my understanding that the basis for the costs
9 that the PUC used were estimates that E-3, their consultant,
10 actually used the RETI numbers, and updated some of the RETI
11 cross-curve estimates to come up to more current
12 developments in the financial markets.

13 And I just want to note that the RETI estimates
14 are actually based on the inputs that were derived from the
15 2007 IEPR, so we're just sort of making a little bit of a
16 circle.

17 COMMISSIONER BYRON: Of course, I believe you, but
18 let me ask a question. I mean, maybe -- I mean, they're in
19 range; correct? Yeah, they're all within range. No, not
20 quite, some of them are a little low.

21 When I say within range, the values on the right
22 curve seem to be within the span of values that you have on
23 the left side, except for maybe one.

24 But is that indeed what they said in the report,
25 that they based it upon our cost of generation model from

1 the '07?

2 MR. ALVARADO: Well, E-3 references RETI and the
3 consultant for RETI came up with their own cost estimates
4 and they used the input assumptions that we -- that we
5 developed for the 2007 IEPR. They've applied their own
6 levelized cost of generation model using much of our inputs,
7 and with some changes.

8 COMMISSIONER BYRON: Uh-hum.

9 MR. ALVARADO: So we're all sort of working a lot
10 from the same base.

11 COMMISSIONER BYRON: But I think you're implying
12 they're behind.

13 MR. ALVARADO: Well --

14 COMMISSIONER BYRON: They're using an older model.

15 MR. ALVARADO: They're using their own tool.

16 COMMISSIONER BYRON: No, I like their results
17 better because it's narrower.

18 (Laughter.)

19 COMMISSIONER BYRON: Right, and it looks like it's
20 more accurate.

21 MR. MC CANN: Precise.

22 COMMISSIONER BYRON: Precise, thank you.

23 MR. ALVARADO: By appearances, right. And this is
24 really the purpose of presenting this slide is that if you
25 really want to do a integrated resource planning exercise to

1 evaluate your resource options, given all the different
2 variables, there really is a much wider range in what it may
3 cost to develop these projects than some of the simple point
4 estimates and the small ranges that we've seen in other
5 studies.

6 COMMISSIONER BYRON: But as Mr. Braun indicated,
7 as well, we can assume that a number of the higher case --
8 the higher cost projects won't enter into contract because
9 they're pricing will be out of range in a competitive bid
10 situation.

11 MR. ALVARADO: That would likely be the case. And
12 our effort here was to at least investigate and look at all
13 the different technologies and see where they would -- they
14 could fall out.

15 COMMISSIONER BYRON: Uh-hum. Well, I think what
16 I'm hinting at is, of course, the Public Utilities
17 Commission has access to all the procurement information
18 around renewable energy, and I just wonder if this is a
19 better representation of investor-owned utility costs for
20 renewables?

21 But I don't know that you could answer that.

22 COMMISSIONER BOYD: They used RETI.

23 COMMISSIONER BYRON: Well, yes, they said they
24 used RETI results but, of course --

25 COMMISSIONER BOYD: It comes back to us.

1 COMMISSIONER BYRON: -- which stakeholder
2 representation there would include a lot of the vendors, and
3 suppliers, and developers in the wind and the photovoltaic
4 area, so that might also cause a narrowing of costs here as
5 well. Maybe, they would tend to put their best foot
6 forward, as well.

7 MR. ALVARADO: I would assume so. At least with
8 our effort here we are -- there's been a numbing amount of
9 work that's occurred in these last six months and at least
10 our effort here is to document all of our different
11 assumptions.

12 And part of the purpose of this workshop is if
13 we're really off base on any of these different variables
14 and the results, we would like to hear from the
15 stakeholders. And we will make modifications if deemed
16 necessary.

17 COMMISSIONER BOYD: I like our lower ends better.
18 But our upper ends are -- so talk about variability.

19 MR. ALVARADO: So the next step here is I just
20 want to give comparison of what we did to the 2007 IEPR, a
21 look at, now, just the levelized costs. We compare some of
22 the key variables and show how the tax benefits also make a
23 difference.

24 In this slide we have comparison of the 2007 IEPR,
25 which is the green bar, and the most current estimates.

1 So in some cases we'll find that some technologies are
2 somewhat -- are slightly lower or, in some cases, even
3 significantly lower than the estimates we did in 2007. And
4 part of what drives some of these costs differences is not
5 only the instant costs may have changed, but we've -- I
6 think this is also in part due to the financial assumptions
7 and the tax treatment, not only using the revenue-based
8 model, but also the cash flow model that provides us a
9 different set of results.

10 And for the 2007 IEPR we did not do a forward
11 looking case to try to evaluate what would be the trend in
12 development costs for technologies in outer years.

13 But what we did over here was we used the 2007
14 baseline assumptions for 2007 and escalated moving it out to
15 2018, so we can at least have a line-by-line comparison.

16 And as you'll see for some technologies, very few
17 of the technologies here, that the current estimates are a
18 little bit higher, the levelized cost estimates are higher.
19 But for some technologies, we're significantly lower than
20 the estimates we developed two years ago.

21 COMMISSIONER BYRON: So I'm just trying to
22 understand if we have an apples-to-apples comparison then
23 here. You have to assume an annual escalation percentage,
24 is that going to be the -- is it the same or similar for the
25 '08 IEPR?

1 MR. ALVARADO: Richard, do you have any basis for
2 this?

3 MR. MC CANN: Yeah. When you say -- I'm a little
4 confused because you said the '08 IEPR, so I'm not quite
5 sure.

6 COMMISSIONER BYRON: If I understood, Mr.
7 Alvarado, the '07 didn't have an out year prediction, so you
8 escalated the '07 IEPR prediction out to 2018?

9 MR. MC CANN: Right. And so there was a
10 comparison in '07 of future years, but we didn't have good
11 trend data, particularly on renewable technologies, how
12 those costs -- how we might have experience curves, which is
13 one of the innovations that was added into this model.

14 So the 2018 values for the '07 don't include that
15 kind of change in the trends of the costs, it was just
16 simple inflation escalation out for those costs, out into
17 the future.

18 And so that's the comparison that was done here,
19 in looking at 2018, was the '07 assumptions just escalated
20 out, which is the model had the capability to do that in the
21 '07, it just didn't have the other information about the
22 trends in future technology costs.

23 COMMISSIONER BYRON: And but -- a further
24 question, neither really include that enormously high
25 construction escalation we've seen in the last couple of

1 years, either, have they -- do they?

2 MR. MC CANN: For the '07 case, that's right. And
3 so that's why, for example, when you look at the '07 versus
4 the '09 and you see that the '09 is generally higher costs,
5 that's because of the unforeseen construction cost
6 escalation that occurred between -- that we had not fully
7 captured in 2007 and really ballooned up in 2008 and -- 2007
8 and 2008.

9 COMMISSIONER BYRON: Okay, thank you.

10 MR. ALVARADO: So this brings us to the tax
11 treatment issues and a large part of the changing, the
12 levelized cost estimate really is due to the tax treatment,
13 as Dr. McCann had pointed out. And I think this is actually
14 a significant uncertainty when we start looking out on the
15 future years.

16 Do we assume that when the tax rules actually
17 terminate, whether it really is going to just drop dead at
18 that point and developers will encounter different tax
19 treatments or are we going to assume maybe the possibility
20 that a similar treatment is carried forward in those outer
21 years?

22 This slide does show what would be the tax
23 benefit, looking at the average levelized cost case, and
24 you'll see that some technologies that -- with and the --
25 where you have the extended red bar is without the tax

1 benefit. So for some of the technologies you will see that
2 the tax treatment is very significant when you come up with
3 the levelized cost estimates, particularly for some
4 renewable technologies.

5 We did this comparison for both the high and low
6 case. You'll see that the tax implications in the high case
7 is much smaller than what we found in the average case. And
8 in the low levelized cost estimates, the tax benefits
9 actually is a much more significant role in deriving these
10 estimates.

11 So since we are trying to come up with a range of
12 levelized cost, all this slide here does is sort of shows
13 what the actual combined range of the tax benefits and
14 without tax benefits, and how that contributes to our range
15 of levelized cost calculations. Since the bottom bar really
16 captures both the estimates using the -- with the tax
17 variation.

18 So like with solar photovoltaics, you'll see that
19 the tax benefits on the low end versus the higher end,
20 without the tax benefits, is what comprises, in part, our
21 range of localized costs for that particular technology.

22 This is basically the same slide that Ivin had
23 earlier, and the only point we wanted to make is that when
24 you used levelized cost this is really only one attribute
25 that is used for integrated resource planning analysis.

1 We've used these levelized cost estimates to come up with
2 screening curves for general comparisons of one technology
3 to the next, but the next level, if you want to really
4 engage in a full evaluation of the implications of these
5 different technologies, you would have to consider how a
6 plan may operate, capacity factor many times really does
7 make a big difference on levelized cost estimates, and it
8 is -- we really need to take the whole picture in mind when
9 we're doing any kind of resource planning analysis, because
10 levelized cost is a significant input, but not everything
11 when making a simple comparison.

12 Another point is that the location, actually, will
13 make also a big difference, and when you try to understand
14 the potential levelized cost, in part, because of the
15 interconnection cost association.

16 And the other element, I think this was pretty
17 much what Gerry was pointing out, that these costs do not
18 really equal the market prices and we do get calls at times
19 from folks, for this information, assuming that it really is
20 the same thing.

21 And another element is these costs at this point
22 do not include any other system modifications like -- or
23 externalities, such as the emission effects.

24 Those kind of studies only would require, really,
25 a system simulation evaluation to determine those kind of

1 implications.

2 So with that, that brings us back to the list of
3 questions that --

4 COMMISSIONER BYRON: Before you go to the
5 questions let me just check here, Commissioner Boyd, do you
6 have any more questions for Mr. Alvarado?

7 COMMISSIONER BOYD: Not really questions. I guess
8 a question of myself, on this whole process, what struck me
9 last night in reading all this, and it has been driven home
10 today continuously, is the high and getting higher cost of
11 simple-cycle machines, and the fact that we, you and I, and
12 others have a lot of siting cases involving very large
13 simple-cycle machines, which have always bothered me anyway
14 because of the inefficient use of gas.

15 But anyway, the cost -- the cost factor, which is
16 a product of the very low utilization you referenced, is
17 still troubling me a lot and is something I want to get out
18 of this whole process.

19 So not a question, an observation, before we get
20 to the real question.

21 COMMISSIONER BYRON: And I think it's a good one.
22 You know, you've got to bury a lot of cost over a few hours'
23 operation with simple cycle. And, of course, it's the
24 dispatchability of that machine that gives everybody a lot
25 of comfort. But maybe we'll get to the point with

1 photovoltaics and storage where there's the similar level of
2 comfort and the cost, I think, will certainly begin to
3 compete based upon the numbers we see here.

4 I was struck, as you were giving your
5 presentation, in addition to asking you to be economists,
6 engineers, detectives, we also need you to be accountants in
7 doing this analysis.

8 And as you were going through the tax treatment
9 issues, and I'm not going to ask you any specific question
10 about tax treatment, because I'm not very comfortable at all
11 with all that stuff, but have we gotten some confirmation
12 from the developers or the merchants that we have -- we have
13 the treatment, the tax treatment correct in the modeling?

14 So it's really a process question, are we getting
15 feedback, have we verified or checked, are we looking for
16 that kind of verification as a result of this workshop.

17 MR. ALVARADO: Well, and I think, again, this is
18 part of the point of this -- the purpose of this workshop is
19 to receive this kind of feedback.

20 We have had some calls from individuals, asking if
21 they've adequately interpreted some of the tax assumptions.
22 So at least we're having some dialogue with some of the
23 developers.

24 I will defer to the folks that actually, really
25 did most of the research and took on this task of really

1 trying to understand taxes and tax codes for each of these
2 plants, for these kind of details.

3 Anything to add, Richard, to that effect?

4 COMMISSIONER BYRON: All right, well, we're
5 certainly interested in that because -- and again, it's
6 probably more a measure of my uncertainty around this, how
7 this is dealt with in the cost of generation, but I am
8 looking for a verification that we've indeed, as State
9 employees who don't compete in the marketplace out there to
10 try and build generation, that we understand how their
11 modeling it and how they -- how they take advantage of tax
12 opportunities.

13 I just want to make sure we've got that right.
14 For instance, as I recall, part of this stimulation package
15 that was passed last September, at the Federal level, the
16 investor-owned utilities stuck an issue in there that they
17 now get a favorable tax treatment on renewables, they get
18 investment tax credit associated with renewables that I
19 believe they did not have before.

20 So let me ask, is that, for instance, incorporated
21 in this model?

22 MR. MC CANN: Looking at the tax provision and
23 maybe the utility representatives can clarify this; it
24 appears that they have to make third-party sales in order to
25 get that, to be able to claim that credit. So, essentially,

1 they can't claim it even though it's in there. They have to
2 sell to another utility or another load-serving entity in
3 order to claim the credit, from our reading of the
4 provision. But that might be that if the utilities have
5 more information about that, then we would change the
6 assumption in the model.

7 And the thing about this model is that it's very
8 easy to change that assumption and generate a new set of
9 results.

10 COMMISSIONER BYRON: Well, that's one we're
11 certainly interested in because it's not as though the
12 model's going to change the world, but that provision may in
13 fact change utility-owned generation with regard to
14 renewables going forward.

15 I was talking to a utility executive recently and
16 asked him, where are those projects, certainly expected to
17 begin seeing them?

18 And his response was, you will, it just takes a
19 while to put these deals together.

20 So I know that they're out there looking and I
21 want to be sure that we've properly captured that tax
22 treatment when we do these kinds of cost models so we can
23 understand the comparative costs between the merchants and
24 the investors.

25 MR. MC CANN: Yeah.

1 COMMISSIONER BYRON: It's not criticism at all; I
2 just want to make sure that we're including it.

3 MR. MC CANN: Right, and those -- that -- those
4 are exactly the kind of questions that we want to answer in
5 this tax treatment, because the tax law is unclear in some
6 cases, and the IRS is not always given clear interpretation
7 of treatment of various tax issues.

8 And also, with the changes not only in September,
9 but also in February, of the tax treatment, that those
10 things changed the situation substantially.

11 And then along with that, as if there was a market
12 for selling -- essentially selling excess tax credits, that
13 Lehman Brothers was the core player in that and they
14 disappeared.

15 And so all of that disappeared in the February
16 2009 era, allowed full claiming of tax losses. That
17 provision only goes until, I believe, 2012 or 2013, which is
18 why you see those jumps in the costs.

19 And actually, this is a question for you to make,
20 as policy makers, is what sort of assumptions do you want to
21 use in your planning process about what Congress is going to
22 do about tax laws between now and 2017, when many of these
23 provisions expire.

24 COMMISSIONER BYRON: Okay. Well, Commissioner
25 Boyd's the expert on what Congress is going to do.

1 (Laughter.)

2 COMMISSIONER BYRON: All right, good. Well, we're
3 certainly interested in that, for these reasons. So I think
4 that's a great lead-in, Mr. Alvarado, to the questions. Are
5 you going to lead this process with regard to you're seeking
6 some public comment at this time?

7 MR. ALVARADO: Sure. Basically, I'd like to -- we
8 can sort of phase this to anyone here today. If you have
9 any comments, please come on up to the podium, comments or
10 questions.

11 COMMISSIONER BYRON: Well, it's just that I
12 interrupted you before you got to your questions and so I
13 wanted to hand it back to you on how you wanted to handle
14 it.

15 MR. ALVARADO: These are the main questions that
16 we've identified earlier; I think this is the core of the
17 type of feedback we're seeking, so I'm open to any feedback
18 from the audience.

19 COMMISSIONER BYRON: And if you would, please
20 introduce yourself for everyone.

21 MR. TONY BRAUN: Hello, my name is Tony Braun, I
22 am Counsel to the California Municipal Utilities
23 Association.

24 I just have a question and I think comes hard on
25 to the questions that were just raised here and I, too, am

1 not an accountant. The predominant --

2 COMMISSIONER BYRON: But we know you're an
3 attorney, Mr. Braun.

4 MR. TONY BRAUN: I am an attorney, so maybe I have
5 some insight into some of this.

6 The predominant model that appears to be used by
7 many of the CUMA members, when investing in renewable
8 resources, is sort of a triangle model of private developer
9 and ownership of facilities, which is utilized to take
10 advantage of the tax credits that are available, an output
11 sale of the contract, of the output of the project to a
12 load-serving entity, which is the CMUA member, and then
13 essentially a tax-exempt financing prepay for the output of
14 that utility to take advantage of the ability of the CMUA
15 member to issue tax-exempt security.

16 So my question is when I saw those spreads for
17 certain of the cost drivers, for some of the renewable
18 technologies, I was just curious as to how much of that type
19 of financing structure for projects was reflected in those
20 graphs?

21 COMMISSIONER BYRON: Good.

22 MR. ALVARADO: Richard, I'm sorry, I'm going to
23 have to defer to a lot of these details. If Joel was here,
24 I think we'd be able to field most of these questions.

25 MR. MC CANN: Right. Yeah, between Al and I, we

1 have some knowledge of Joel, so maybe we should be bound
2 together and --

3 COMMISSIONER BYRON: Get him on the phone.

4 MR. MC CANN: Yes, yes, what time is it there?

5 But we did not do that type of -- incorporate that
6 type of project financing. It was something that came up
7 looking at particular reports, but that's the sort of
8 comment, if CMUA can give a very detailed description of how
9 that project financing works, we can attempt to work it into
10 the model.

11 But general -- I got to be honest, general
12 comments won't help us, they got to be very specific.

13 MR. TONY BRAUN: I'll see what we can do on that.

14 MR. MC CANN: That's.

15 COMMISSIONER BYRON: Well, thank you.

16 MR. ALVARADO: Please come up.

17 MR. BARMACK: Matt Barmack, from Calpine. Just on
18 that last point, I know that some people at Lawrence
19 Berkeley Lab, including Brian Wiser, have done a lot of work
20 on sort of the project finance structures for renewables
21 deals, and I'm just wondering whether you've tapped into any
22 of that -- any of that work?

23 MR. MC CANN: We've looked at their reports and
24 actually used a fair amount of information in doing that
25 analysis.

1 The municipal co-financing model wasn't actually
2 in any of the reports that I saw by them, but they might
3 have one somewhere else.

4 MR. BARMACK: Okay, I had another question and
5 then two comments. The question was really about the claim,
6 Richard, that you made in your presentation about the
7 radical, what I understood to be the radical divergence
8 between the results you got from sort of a revenue
9 requirements approach versus a cash flow approach, and maybe
10 I'm misconstruing the claim, but is that driven by the
11 modeling as opposed to the difference between your
12 assumptions about merchant cost of capital versus IOU cost
13 of capital?

14 MR. MC CANN: Yeah, it's in the modeling. We used
15 all identical assumptions except for using the revenue
16 requirement method versus the cash flow method.

17 MR. BARMACK: Okay, in that case, I guess, I find
18 the result very surprising because, you know, there's sort
19 of a lot more out there that shows the equivalence of the
20 two approaches, at least for investment decisions, when you
21 used comparable assumptions in both approaches.

22 So I'd be happy to send you some references, but I
23 really encourage you to push on that a little bit more
24 because I'm not sure that result is correct.

25 MR. MC CANN: Well, it's -- when we say up to 30 percent,

1 that was just in a few cases. But it's really, the two
2 things that drive it is the way the tax credits play out,
3 and the other thing is that the discount rate impacts are
4 different in the two different methods because of the --
5 it's different cash streams or, in some cases, there's
6 actually different discount rates that are applied to
7 different cash streams in the model, whether they're equity
8 or debt components of the model.

9 MR. BARMACK: Yeah, so I guess, so you're going to
10 release a version of the model?

11 MR. MC CANN: Yes, yes, there will be a version
12 posted.

13 MR. BARMACK: Okay.

14 MR. MC CANN: And I'm not sure how it's going to
15 be posted up there, but it would be available, it's in an
16 Excel spreadsheet format.

17 MR. BARMACK: Okay. I just -- you know, I had two
18 minor comments, which I'll put in writing. But, you know,
19 throughout the report you kind of differentiate between IOU
20 model, and the merchant model, and there are a lot of claims
21 that the IOU model is somehow cheaper. And I guess I would
22 encourage you to use a little bit more neutral language.

23 I mean, if you give a merchant a 30-year PPA, you
24 know, sort of similar to IOU ownership, his cost of capital
25 is going to be very similar to the IOUs. And, you know,

1 maybe you can talk about the term of commitment instead of,
2 you know, IOU versus merchant, that's one comment.

3 MR. MC CANN: That's a good point. A lot of that
4 is that difference in the un -- oh, let me see, the hidden
5 risk difference between the two.

6 MR. BARMACK: Yes. Yeah.

7 MR. MC CANN: That is not -- doesn't -- isn't
8 obvious between the two financing approaches.

9 MR. BARMACK: Yeah. The second comment is, and I
10 think you've been sort of cautious about your claims, you
11 know, about how accurate your estimates of the costs about
12 renewables are, especially relatively new ones, but I think
13 you could be much more guarded about your estimates of the
14 installed costs of some of the newer conventional
15 technologies.

16 I was surprised and I thought the result was
17 completely counter intuitive that, you know, that you're
18 showing the installed cost of an H class combined cycle to
19 be lower than the cost of a normal combined cycle.

20 I mean, we're a partner with GE and one of the few
21 sort of existing H class projects, and I found that estimate
22 counter factual and counter intuitive.

23 MR. MC CANN: Actually, that particular
24 comparison --

25 MR. BARMACK: Yeah.

1 MR. MC CANN: -- we actually would be very
2 interested in talking to you because the only H class cost
3 estimate that we have is from EIA, and it's not survey
4 based, it's not experience based, whereas our conventional,
5 the F class type combined cycle plants we have --

6 MR. BARMACK: Right.

7 MR. MC CANN: -- substantial experience. And so
8 we don't believe that they're entirely comparable. And that
9 particular cost comparison, we would actually like much more
10 information about actual experience with the H class.

11 MR. BARMACK: Well, I think both with the H class
12 and the LMS 100, you know, fundamentally, you just don't
13 have a lot of data because there aren't a lot in service.
14 And so, you know, rather than -- you know, maybe you should
15 just have wider bands or -- but I think having estimates of
16 the cost of those technologies, in the case of the LMS 100,
17 that's lower than OLM 6000 cost, and in the case of an H
18 class that's lower than an F class, that just doesn't feel
19 right, maybe you want to do a reality check on those
20 estimates.

21 MR. MC CANN: Yeah, so if you can provide us where
22 we can do that reality check, we would much appreciate it.

23 MR. BARMACK: Yeah, well I mean, you know, because
24 the things fundamentally don't exist, I think you're going
25 to have to rely more on engineering estimates and what the

1 vendors say than on data, and that's probably not your
2 preference.

3 COMMISSIONER BYRON: Mr. Barmack, thank you for
4 coming.

5 MR. BARMACK: Sure.

6 COMMISSIONER BYRON: I'm curious, if I may ask you
7 a couple of questions?

8 MR. BARMACK: Yes.

9 COMMISSIONER BYRON: I mean, things like you're
10 one of the few merchant builders that's still successful,
11 let's say, in going forward with proposals here in
12 California; do we have things like the construction
13 inflation over the last couple of years right?

14 MR. BARMACK: Well, you know, in just following
15 our own projects and also I've been involved in sort of
16 vetting the MPR that the Public Utility Commission put
17 together, I think your -- both your -- both the simple cycle
18 results that are in the current draft of the report and the
19 standard sort of combined cycle estimates that are in the
20 report -- and I'm talking about installed costs, because I'm
21 still not comfortable with the financing assumptions and the
22 levelization calculations.

23 But with respect to installed costs, I think
24 they're in a low to reasonable range.

25 COMMISSIONER BYRON: Just could you -- good. And

1 I'm curious, how much -- can you give me a sense of how much
2 information because -- let me back up.

3 There seems to be so much sensitivity around these
4 costs and yet here we are at this Commission, who really
5 doesn't have a dog in this fight, we're trying to understand
6 these costs so that we can do these kinds of analyses going
7 forward, make the correct policy decisions, and we always
8 struggle to get access to information.

9 How much information that you provide, let's say
10 to -- in your bid process is competitively sensitive versus
11 what you're limited to talk about because you signed a
12 nondisclosure agreement as part of your proposal?

13 MR. BARMACK: Um --

14 COMMISSIONER BYRON: In other words, how
15 forthcoming could you be with information about your costs?

16 MR. BARMACK: I suspect not all that forthcoming.

17 (Laughter.)

18 COMMISSIONER BYRON: But why? Because it's
19 competitive or --

20 MR. BARMACK: Yes.

21 COMMISSIONER BYRON: -- because you signed a
22 nondisclosure?

23 MR. BARMACK: No, because it's competitively
24 sensitive.

25 COMMISSIONER BYRON: But yet, you come to this

1 workshop because you want to make sure we get it right?
2 MR. BARMACK: Yeah. Well, I mean there are lots of ways
3 this filters through to policy. And I mean, it hasn't
4 happened yet, just to give you an example -- I mean, it
5 hasn't happened yet in California, but to give you an
6 example from another market, you know, in the east, where
7 there are formal capacity markets, you know, all different
8 parameters of the capacity markets, like price caps, and
9 price floors are tied to exactly these kinds of estimates of
10 the cost of new entry.

11 And, you know, in California the influence of
12 these kinds of estimates is a little bit less direct but I
13 mean, yeah, they can have a major impact on us, so that's
14 why I'm here.

15 COMMISSIONER BYRON: Well, we welcome your
16 comments and information to the extent you feel you can
17 provide it.

18 MR. BARMACK: Sure.

19 COMMISSIONER BYRON: Even if it's just ranges.

20 MR. BARMACK: Yeah.

21 COMMISSIONER BYRON: As I said, I think your
22 company is an important contributor here, in California, and
23 we would certainly value any information that you could
24 provide us to help us be more accurate.

25 MR. BARMACK: Okay, we'd like to help you to the

1 extent that we can.

2 COMMISSIONER BYRON: Good.

3 MR. BARMACK: Okay, thank you.

4 COMMISSIONER BYRON: Thank you.

5 Now, I hope I didn't scare anybody off, but we
6 welcome more comments and questions.

7 MR. SWAIN: Yeah, hi, I'm Ken Swain, with Navigant
8 Consulting.

9 I just had a clarifying question for Richard. You
10 mentioned that you used the TAC, the transmission access
11 costs, in your assumptions, and I went back and I was
12 looking at the Cal ISOs, I think it's the March 2009 TAC,
13 and it didn't look like I jived with what you had in there;
14 I was just wondering what your source data was for that?

15 MR. MC CANN: The TAC, you mean about the tariffs
16 or about the interconnection costs?

17 MR. SWAIN: The TAC, the transmission access
18 costs?

19 MR. MC CANN: I believe that we actually pulled
20 that from the -- it's about four or five dollars a megawatt
21 hour; is that right, I think? I remember seeing that --

22 MR. SWAIN: I just had some notes when I was
23 reading that and went back and looked.

24 MR. MC CANN: Yeah, I believe we pulled it from
25 that tariff, from the March 2009 tariff.

1 MR. SWAIN: Okay.

2 MR. MC CANN: I mean, we might have used a
3 somewhat -- I mean, we might have used an average or
4 something, but the range between the different parts of the
5 control wasn't substantial from what we had.

6 MR. SWAIN: Okay.

7 MR. MC CANN: And you can look at that in the
8 model where we concluded that component, if you go to
9 the -- there's a page called the -- it's probably on the
10 plant data input page, and that has the estimate, the cost
11 on that page.

12 MR. SWAIN: Okay, thank you.

13 MR. HUGHES: I'm Evan Hughes, consultant in
14 biomass and geothermal.

15 There was a curve that showed the solar PV being
16 the one that really was coming down in costs when you went
17 out to the future, I think it was the dollars per kilowatt
18 number. There was another one that sloped down on that
19 graph, but not nearly as much, and I'm wondering what that
20 other one was and then I have a comment on the solar.

21 Yes, that looks like it. What's the two with the
22 lesser slopes decreasing over time?

23 MR. ALVARADO: You're indicating this one over
24 here?

25 MR. HUGHES: Yeah, and there's a --

1 MR. ALVARADO: That's the onshore wind classified.

2 MR. HUGHES: That's onshore wind, uh-huh.

3 MR. ALVARADO: This one in the circle is the
4 parabolic solar.

5 MR. HUGHES: The parabolic solar, okay.

6 MR. ALVARADO: And the one that takes the biggest
7 dip is the -- yeah, the PV, central station PV.

8 MR. HUGHES: Central station PV, okay.

9 On the PV, I've heard for years that there's been
10 a trend that's gone back 20, maybe 30 years by now, of
11 approximately an 18 percent decrease in dollars per kilowatt
12 as you double the volume of production. Is that the basis
13 for such a steep decline on that or can you say?

14 MR. ALVARADO: I'll defer to our KEMA consultant.

15 MR. O'DONNELL: Hi, I'm Chip O'Donnell with KEMA,
16 Mr. Hughes, thank you for your question.

17 In terms of the experience curve there are a
18 number of experience-based curve studies that have been
19 published, not just over the last several years, but over a
20 long period of time.

21 And there's a relatively constant learning rate
22 which is roughly around 12 to 18 percent, and it depends
23 which study you use --

24 MR. HUGHES: Per doubling, you mean?

25 MR. O'DONNELL: Per doubling, that's correct.

1 The other impact of that is when you're looking at
2 cost of generation you're also looking at not just the
3 overall technology impacts, but the installation costs that
4 are associated with that, as well.

5 And so what we did, as we developed the experience
6 curve effects for solar PV, is we looked at a number of
7 different issues. One was the downward trend in module
8 costs over time, and that's being driven by technology cost
9 drivers, as Mr. Braun had correctly outlined in his
10 presentation.

11 So you're getting some technology drivers there,
12 but you're also getting some experience curve in new
13 approaches to PV, such as maximum power point tracking, you
14 know, different inverter technologies, and so forth.

15 And so what we did was we took the base learning
16 assumptions, and I would say the 18 percent is in the range.
17 The numbers that come to mind are between 12 and 18 percent
18 for doubling.

19 And then we looked at sensitivities around some of
20 those key cost drivers in developing what we call a modified
21 progress ratio, which is really a modified burning effect.

22 Okay, so I'd say the 18 percent is within the
23 range and the balance of the numbers that we used.

24 MR. HUGHES: I have a detail on that curve. I've
25 heard that it's possible for an incentive to actually

1 increase the cost because it builds up the demand to take
2 advantage of the incentive and then the suppliers don't have
3 it right away, and so that can result in the trend line not
4 being followed for a while until the supply catches up.

5 And then there was a recent, or I guess two or
6 three years ago, lower supply of crystalline silicon --

7 MR. O'DONNELL: Silicon.

8 MR. HUGHES: -- that caused a -- have you or Mr.
9 Braun, the PIER project studied that and been able to
10 observe what's happened in the last two years on that, and
11 are we back on the trend line or not?

12 MR. O'DONNELL: Actually, what I'd like to do is
13 call up Mr. Pete Baumstark, who is one of our principal
14 researchers on the project.

15 And the answer to that question is yes, but Pete
16 can provide some more detail and color for the group.

17 MR. BAUMSTARK: Hello, I'm Pete Baumstark, from
18 KEMA.

19 You know, see, one of my other jobs is I evaluate
20 equipment eligibility requirements for the CSI program,
21 through another contract with the CEC, and I speak with
22 manufacturers a lot about their PTC ratings, and their
23 modules on the list, and at least the -- one for one, the
24 feedback I'm getting is, yes, two or three years ago it was
25 a buyers' market -- or excuse me, it was a sellers' market

1 for PV.

2 Over the past six, eight months it's reversed.
3 You know, they -- off the top of my head I can't give you
4 actual numbers, you know.

5 Certainly, there's a refined silicon capacity,
6 there was an issue two, three years ago, that's caught up.

7 There's the -- you know, there's basically the
8 financial crisis, you know, which basically transformed the
9 market more into a buyers' market.

10 So, you know, many of these manufacturers
11 are -- you know, basically, they're trying to gain a
12 competitive advantage because it's a lot more competitive
13 right now. Does that --

14 MR. HUGHES: Thank you.

15 MR. CAMPBELL: Hi, my name is Matt Campbell, with
16 SunPower.

17 Just a couple of comments, first of all on behalf
18 of SunPower, we really appreciate this very important work
19 and we understand the complexity in doing this sort of LCOE
20 modeling in that it requires, as it was mentioned, that
21 you're a technologist, an economist, with insight into
22 commodity, prices, and exchange rates, and all the other
23 assumptions that drive the results.

24 Just quickly on that last comment, about the
25 module experience curve, we did see several years ago, as it

1 was mentioned, that because of the price of polysilicon and
2 the global shortage of PV panels we did go off the
3 experience curve, and we modeled this experience curve and
4 we've seen that we've snapped back to the experience curve
5 as you would expect now.

6 It was a combination of massive increase in
7 supply, with sort of a slow down caused by the macro
8 economic environment, as well as some policy changes, most
9 notably in Spain.

10 So one question was -- or one question was posed
11 earlier, which is whether this LCOE analysis should be
12 revisited every two years or sort of kept in a real-time
13 basis; and I think we would feel that it should be a real-
14 time analysis because things are happening very quickly.

15 And I was just jotting a few notes on what's
16 changed between the April workshop and today, which is only
17 four months.

18 And a number of things are happening sort of macro
19 in the industry. One for SunPower is that we've actually
20 just finished our first, what we consider utility-scale PV
21 plant, which is a 25 megawatt facility in Florida, we
22 energized the first blocks last week.

23 And what that sort of speaks to is that although
24 we've been going down a module experience curve, on the
25 power plant side we're sort of at the top of the curve

1 because nobody's built, you know, these photovoltaic power
2 plants on the scale of a hundred or 500 megawatts, as we've
3 seen.

4 So I think that bodes well for a very aggressive
5 cost trajectory for the single-axis photovoltaic power
6 plants that are mapped out here.

7 The second is in terms of global finance we are
8 seeing a reemergence of project finance. There's been a 50-
9 megawatt project that's been financed in Germany.

10 In our own case, we've announced a financing
11 arrangement with Wells Fargo, so that's an encouraging sign.

12 And I think what it speaks to is that as an asset
13 class, investors like renewables and, in our case
14 photovoltaics, because of its ability to generate
15 predictable returns. So we're not out of the woods yet, but
16 there's some good signs.

17 Another interesting point to note is the explosion
18 of photovoltaic power plants announcements, so it's like
19 actually on the front of the New York Times today. But in
20 China we've seen over a gigawatt announced. And at the rate
21 we're going, probably many more gigawatts will be announced
22 in the not-too-distant future.

23 In California, I'd have to do the math, but it's
24 probably between 500 megawatts and a gigawatt has been
25 announced for photovoltaics in California, so again, this

1 concept of the scaling of the PV power plant.

2 And then in terms of commodity prices, which are a
3 key input to construction costs, we've actually seen copper
4 and steel rebound, which speaks to the difficulty of
5 anticipating the constructions cost years into the future,
6 and that applies to both fossils and renewables.

7 And then in terms of transparency into the actual
8 cost of the power plant which, you know, being an industry
9 we do closely guard our costs because it is so competitive,
10 but there have been some public announcements between April
11 and now.

12 In our own case, we announced that by 2014 the
13 cost of the photovoltaic panel, which is sort of the steam
14 generator of the photovoltaic power plant would be less than
15 \$1,000 per kilowatt DC, so which is -- would be quite a good
16 cost for a silicon, high-efficiency silicon panel.

17 And our competitors have made announcements as
18 well for solar, made some new announcements in June that
19 were quite -- quite interesting, and we've seen
20 announcements throughout the world.

21 So I think that in terms of your challenge to get
22 the industry costs, there are more public announcements that
23 should make it easier to model, and then we're happy to help
24 from the industry.

25 In terms of assumptions used in the modeling, we

1 definitely agree that it's just highly sensitive to the
2 assumptions and we'll provide some written comments on some
3 of the assumptions.

4 But we think there's opportunities in the
5 assumptions used in the capital costs, on the capacity
6 factor. Obviously, whenever we site a PV power plant, we
7 put it in a place that can deliver the highest capacity
8 factor, because that delivers the best economics.

9 On the O&M we think there's opportunity.

10 And then one of the biggest challenges is on the
11 weighted average cost of capital, and this was alluded to.
12 You know, as an asset class, photovoltaics as a power plant
13 are relatively new. Wind is pretty mature. But I think
14 investors are getting their hands around what's a required
15 rate of return on a PV power plant.

16 And we are seeing, we've seen public statements by
17 leading banks on sort of different financing assumptions
18 depending on different technology.

19 So eventually you could see different spreads
20 based on technology class, which is interesting. And I
21 think it just speaks to whatever the perceived risk is of
22 the different technologies.

23 And then there are other variables to keep in
24 mind, there's the new Federal Loan Guarantee Program, so if
25 you have a plant that has a significant amount of leverage

1 and then the government is guaranteeing, that's going to
2 lower your spread to something nominally above a treasury,
3 which could -- you know, since in the case of the PV plant
4 it's essentially all capital cost, you're super-sensitive to
5 the cost of that capital.

6 So and, yeah, so thank you.

7 COMMISSIONER BYRON: Mr. Campbell, thank you,
8 that's very helpful. And we welcome information that you're
9 willing and able to supply.

10 A quick question, if I may, with regard to, for
11 instance, the 25-megawatt plant you just are energizing in
12 Florida, is that with an investor-owned -- a power screen
13 with an investor-owned utility?

14 MR. CAMPBELL: That will actually be owned by
15 Florida Power and Light, and so they rate base the asset,
16 yeah.

17 COMMISSIONER BYRON: So is this cost information
18 associated with that -- I'm sorry, not cost. The purchasing
19 information associated with that publicly available?

20 MR. CAMPBELL: That's a good question, I'm not
21 sure how much of that is public, but that would be easy to
22 find out, yeah.

23 COMMISSIONER BYRON: We're looking for information
24 wherever we can find it.

25 Well, thank you, thank you for being here, very

1 helpful.

2 MR. ALVARADO: Any other comments?

3 MR. MINASIAN: Good morning, Raffi Minasian, from
4 Southern California Edison. I was tapped as a last-minute
5 replacement, so I have a couple questions from colleagues,
6 who may or may not be listening, but I need to make sure
7 that I'm here.

8 (Laughter.)

9 COMMISSIONER BYRON: Forgive me, Rocky, what was
10 your last name again?

11 MR. MINASIAN: It's Raffi, actually, Raffi
12 Minasian.

13 COMMISSIONER BYRON: Minasian, thank you.

14 MR. MINASIAN: Yes, you can write that down.

15 I was going through the draft staff report and I
16 think you showed some of the breakdown for some of the
17 levelized costs, a comparison for '07 and '09, and one of
18 the new items there was the AP 1000 power, the nuclear
19 entry.

20 And we had a couple questions, one was, you know,
21 that the cost appeared to double in comparing '07 and '09,
22 whereas the instant cost didn't seem to go up quite as much,
23 and I was wondering if there was any insight as to why, why
24 the increase or --

25 MR. ALVARADO: I'm glad Chip's here today.

1 MR. MINASIAN: Thank you.

2 MR. O'DONNELL: That's a great question. And, you
3 know, in our analysis we refer to nuclear as an issue-filled
4 wildcard in California. And nowhere so has it been more
5 real than the changes that we saw between 2007 and 2009.

6 Most of the research in the 2007 IEPR, and it was
7 part of our task at KEMA to really look and evaluate that
8 research, the research was done correctly in 2007, and a
9 great deal of it was done based on the 2003 landmark study
10 from MIT around analysis of nuclear plant costs, along with
11 other DOE and other publicly available research sites.

12 We looked at that research at the time and said
13 absolutely, it's -- for when it was written and the timeline
14 it was written, that was the contemporary analysis that was
15 publicly available, and so we concurred with that analysis
16 at that time.

17 However, what happened between 2007 and 2009 have
18 been substantive changes as nuclear undergoes its emerging
19 renaissance in our energy debate.

20 And I'm not here to opine for or against, but
21 present what factual evidence we have.

22 There are a number of issues that have taken place
23 since then. There were landmark updates to the 2003 MIT
24 study in 2008.

25 There are concerns over the timeline that it will

1 take to properly apply for a COL, to get permitting and
2 planning permission approvals, and then to actually build
3 the plant.

4 And one way that that manifests itself is in -- is
5 in the -- the NRC currently states today it takes six years
6 to build a nuclear plant. And I think there are numerous
7 studies, including one recently provided by the Vermont Law
8 Center, that's in our research, that shows that, you know,
9 those estimates have not been borne true in fact by actual
10 experience.

11 And so when we looked at the inputs into the cost
12 of generation model, one of the things that we did was we
13 looked at the NRC data for time and amortization time,
14 allowance for funds during construction to actually build a
15 nuclear plant.

16 And we believed, the research team believed, that
17 six years was not sufficient time for that in California.
18 And quite frankly, probably throughout the country.

19 And what we did, as the best reasonable proxy for
20 that, in terms of nuclear plant costs, is we used the French
21 model, and the French model is based on a nine-year
22 construction program. Three years fully up front to
23 license, permit, go through environmental impact assessments
24 and then six years, which is the NRC standard, for actual
25 building. And the construction spend and flows of dollars

1 go accordingly with that type of schedule.

2 We think that may not be enough, it may, it may
3 not be. But our research team assumption, in discussion
4 with the Commission, is if it takes longer than a decade to
5 put a nuclear plant into operation, the investment appetite
6 might not be that large.

7 So there are a number of changes in terms of how
8 we viewed nuclear, based on updates of information that
9 happened since the 2007 IEPR, along with newly emerging
10 supply chain issues that have been published by the DOE and
11 the NP 2010 study, where they looked at critical supply
12 shortages, all of those things put together have driven the
13 costs up.

14 MR. MINASIAN: Another question regarding that
15 same technology. The -- somewhere in the staff report it
16 goes over the depreciation schedules and one thing that
17 stood out to us was that the booked depreciation seemed
18 comparatively low at 20 years, as compared to the equipment
19 life, which is at 40 years.

20 And one of the questions was why is the
21 depreciation schedule seemingly lower; well it is lower,
22 than the equipment life?

23 MR. O'DONNELL: I want to make sure I understand,
24 the booked depreciation life at 20 years?

25 MR. MINASIAN: Correct.

1 MR. MC CANN: Actually taxed.

2 MR. O'DONNELL: Yeah, that's what I was thinking.

3 MR. MC CANN: I think the tax depreciation is 20
4 years and the booked depreciation is --

5 MR. O'DONNELL: Is 40 years.

6 MR. MC CANN: -- 40 years in the model.

7 MR. MINASIAN: I'm sorry.

8 MR. MC CANN: So is there an issue about the -- I
9 mean, if Edison wants information about tax depreciation
10 treatment on nuclear, we'd appreciate more input on that,
11 you know, because it's not -- it's not immediately obvious
12 from the IRS information as to how that's treated.

13 MR. MINOSIAN: I'm sorry, I misread numbers, it
14 was on the tax side. But yeah, it was the 20 years there.

15 Well, then certainly we'll provide some written
16 comments then to that point.

17 MR. MC CANN: Good, good.

18 MR. MINOSIAN: Another quick question. Different
19 technology, on the simple cycle side, it mentioned several
20 times in the report that one of the shifting of costs went
21 from the variable and then for the fixed O&M specifically on
22 the simple side, and there's a big difference there, it gets
23 shifted to the fixed.

24 One of the questions we had was is there a way of
25 capturing that difference either, you know, per dollar per

1 kilowatt year or by megawatt hour?

2 MR. MC CANN: The model has the variable and fixed
3 O&M costs broken out in comparison to dollars per kilowatt
4 year and the dollars per megawatt hour for each component on
5 the output page in the model, so you can actually look at
6 that difference in the model.

7 MR. MINOSIAN: Okay.

8 MR. MC CANN: And one of the things we found
9 though, when we shifted, even though it looks like there's
10 this big shift internally, the final number shift is no
11 significant for the combined or for the --

12 MR. MINOSIAN: Right.

13 MR. MC CANN: And the bottom line dollar per
14 megawatt hour number is roughly the same.

15 MR. MINOSIAN: Yeah, we've got internal reporting
16 that we do and so they tend -- we used the '07 model and so
17 moving forward we wanted to -- we wondered, given the
18 shifting of the costs, whether there was a way of getting a
19 break down there so we could accurately do a comparison.

20 MR. MC CANN: Right, I think that the information
21 you need is actually in the model, that you'll be able
22 to -- you'll be able to look at the '07 model.

23 And the '09 model's laid out almost exactly the
24 same as the '07 model.

25 MR. MINOSIAN: Okay.

1 MR. MC CANN: And you'll be able to look at that
2 comparison. And the underlying data is almost the same,
3 what we did is we went back to the '07 survey data and
4 looked at the comparisons -- looked at our O&M costs again,
5 and looked more closely at it and said that our breakdown in
6 '07 just didn't seem to stand up to the analysis that we
7 had.

8 And looking at, also there is in the report a
9 comparison of the O&M costs compared to other agencies, like
10 the Power Planning Council, the Eastern ISOs, some other
11 entities, and our breakdown really didn't match up with
12 their breakdown.

13 And looking at our data we could -- we felt that
14 we had to go with the breakdown that was more akin to how
15 the other planning agencies and regulatory agencies are
16 breaking down those costs.

17 MR. MINASIAN: Okay, thank you.

18 COMMISSIONER BYRON: Mr. Minasian, thank you for
19 being here.

20 A question or two, if I may?

21 MR. MINASIAN: Sure.

22 COMMISSIONER BYRON: Should we read into your
23 first question that we'll see an application for
24 certification soon for a nuclear plant, from Southern
25 California Edison?

1 MR. MINASIAN: No.

2 (Laughter.)

3 COMMISSIONER BYRON: A more serious question, and
4 I was really pleased to hear that -- wait, before I finish
5 on nuclear, I think it's worth saying that was a very good
6 answer.

7 I heard a presentation a couple of weeks, at an
8 Electric Power Research Institute Utility Executive Seminar,
9 down in Los Angeles, in fact, the CEO of Edison
10 International was there as well, you may have heard the same
11 presentation. South Korea, for instance, is embarking upon
12 a major nuclear program. They've got their construction
13 times down to about 48 months.

14 And, of course, as Commissioner Boyd points out to
15 me, it's a different style of government. But they're
16 attempting to follow the French model and have a very
17 successful program going forward.

18 But I think you're correct, it's going to be very
19 different here in the United States and, certainly, in
20 California.

21 MR. MINASIAN: Right.

22 COMMISSIONER BYRON: But I was very pleased to
23 hear that you indeed use our '07 model, and it sounds like
24 you have plans to perhaps use the '09 model as well, if it
25 serves your interest.

1 You have access to a great deal of information as
2 well, because you do compare solicitations for all these
3 different generation technologies, and to the extent your
4 company is willing to share some of that information in the
5 form of comments that we can digest here, we're very
6 interested in them.

7 And I've talked with some of your executives about
8 this, we don't want to get into the competitive aspects of
9 this and cause difficulties for your customers, but ranges
10 of numbers, giving us some indication if we're doing tax
11 treatments correctly, as you understand them as well --

12 MR. MINASIAN: Sure, sure.

13 COMMISSIONER BYRON: -- that could be very helpful
14 and could help this Commission make a much more robust model
15 that could be used by you and others.

16 Any comment on that?

17 MR. MINASIAN: I appreciate the comments and I
18 will definitely take that back and we will do everything we
19 can to assist and cooperate.

20 COMMISSIONER BYRON: We appreciate your being
21 here. Will we be hearing from you at all again, later
22 today?

23 MR. MINASIAN: I'm not sure about later today, but
24 I will be here all day.

25 (Laughter.)

1 COMMISSIONER BYRON: Okay, good. Thank you.

2 MR. MINASIAN: Thank you very much.

3 MR. ALVARADO: Any other comments or questions?

4 Otherwise, I propose that we open it up to the
5 folks that are online.

6 COMMISSIONER BYRON: So those on WebEx, how should
7 we do it, do they raise their hand online or do you unmute?

8 MR. ALVARADO: I guess we're just going to unmute
9 everyone. And if you do have -- anyone on WebEx, if you do
10 have any questions or comments, please speak up and
11 introduce yourself.

12 MR. LEWIS: This is Craig Lewis, I had my hand
13 raised on the WebEx, I'm not sure if it shows up in there.

14 But this is Craig Lewis, with Right Cycle, and I
15 wanted to ask a question about the -- concerning the cost.
16 The gentleman from SunPower made some excellent points, I
17 thought, with respect to solar, and with all the activity
18 that's going on in California right now around feed-in
19 tariffs and bringing some of the feed-in tariff success
20 that's been done in Germany and throughout Europe, and other
21 parts of the world to California, it seems to me that we
22 need to pay really close attention to that.

23 And one of the things I wanted to ask about was
24 the cost per watt figures that we've been using for solar, I
25 think, if I'm reading the chart correctly, it looks like

1 we're using \$4.50 in installed watt, which I think is
2 accurate for California right now, but that curve is going
3 to come down quickly.

4 The Germans are doing deals under \$4.00 a watt
5 already, so they're at least 50 cents better per watt
6 because they've got so much scale that's being driven by the
7 feed-in tariff. And when you drive the scale that balance,
8 the set-down experience curve comes down very quickly, as
9 does the module curve.

10 And also with the feed-in tariff you have very low
11 parasitic, the parasitic transaction costs are extremely
12 low, with a four-page contract which they use in Germany.

13 And so my question is how much attention is being
14 paid to how much faster that solar experience curve can be
15 driven down once we get a comprehensive feed-in tariff in
16 California?

17 COMMISSIONER BOYD: Once we have a feed-in tariff.

18 MR. ALVARADO: Chip will come and answer this
19 question.

20 COMMISSIONER BYRON: Well, the key -- while he's
21 coming to the podium, as Commissioner Boyd said, the key to
22 that is the quote, once we have a feed-in tariff, quotes.
23 That's a policy issue, yes.

24 MR. O'DONNELL: This is Chip O'Donnell, that you
25 for your question. If I truly knew the entire answer to

1 that question, I probably would not be here, I'd be on Wall
2 Street.

3 The one thing I would suggest is that there are
4 many collateral effects in markets that can drive the
5 experience curve. And as we discussed early, as we were
6 planning out the cost drivers with the Energy Commission
7 staff, one of the things that was noted in our conference
8 call discussion was that disruptive events can change,
9 materially, the experience curve assumptions and projections
10 that we have outlined in the research.

11 And I would agree with the caller that a feed-in
12 tariff could be one of those type of market events that
13 could provide a disruptive influence to the market, and that
14 could drive costs further down in an accelerated fashion.

15 Yeah, I don't think it's guaranteed because, as we
16 heard before from the gentleman from SunPower, you know,
17 there are macro and micro economic effects in terms of
18 costs, supply/demand, raw materials that can all play in.

19 But I think one of the things that we've learned
20 from the European experience, and certainly KEMA has that,
21 as a global energy consulting firm, is that feed-in tariffs
22 can drive markets.

23 And so we would agree with the assertion,
24 quantifying that, however, is somewhat of an uncertain thing
25 at this point.

1 MR. LEWIS: So perhaps the conclusion is that
2 given that these, you know, helpful disruptive events, like
3 a feed-in tariff, can change the market pretty much
4 instantaneously, that that would be a good reason for doing
5 a constant monitoring of these cost experience curves.

6 MR. O'DONNELL: I think the question there would
7 go to pace of change and I think that's more of a policy
8 issue and question than it would be for a research question.

9 The thing that I can say, just from a feed-in
10 tariff stand point, is that feed-in tariffs are not free and
11 implementing them implies some form of societal cost
12 somewhere. And so it's a cost-benefit analysis, which
13 ultimately becomes a policy issue in its implementation.
14 And I would leave it at that.

15 In terms of pace of change, you know, the other
16 question is balancing out the cost of monitoring real-time
17 versus the benefits that the State will get by doing so.

18 COMMISSIONER BOYD: Good answer.

19 COMMISSIONER BYRON: Mr. Lewis, Commissioner
20 Byron. Very cleverly worded question, but I think the
21 answer was very good, also. And there is societal cost
22 associated with this.

23 And as Commissioner Boyd pointed out earlier, if
24 you'd heard, he's learned that the Spanish government is
25 underwriting a great deal of the cost associated with the

1 feed-in tariff that they've promulgated there.

2 I have a question for you, what's Right Cycle?

3 MR. LEWIS: Right Cycle is a advocacy consultancy
4 and it's essentially my own firm, which I formed earlier
5 this year in order to primarily promote the AB 1106 feed-in
6 tariff bill in California. And as you know, Commissioner
7 Byron, I was the Vice President of Government Relations for
8 GreenFault, a solar technology company based in San
9 Francisco, prior to forming Right Cycle.

10 And just one quick note in response to what
11 Commissioner Boyd said, and I didn't hear that, I apologize,
12 I was not able to participate in the whole conference here,
13 but with respect to feed-in tariffs in Germany, the all-in
14 technology that is actually priced above regional rates is
15 the solar PV. All of the other technologies are priced
16 below the regional rates and are being driven down further
17 and further each year, as is solar PV, and before long solar
18 PV will be priced below the retails rates as well.

19 So all of these technologies, given enough time,
20 are going to actually be providing significant and --

21 (WebEx interference.)

22 COMMISSIONER BYRON: That's all right, Mr. Rosen,
23 we have you on mute on all the calls, we get a lot of extra
24 information.

25 We need to ask all the other callers that are on

1 to please be on mute or be quiet at this time. Go ahead,
2 Mr. Lewis.

3 MR. LEWIS: So I'm not sure how much of that got
4 boggled with the other announcement, but my point is that
5 the societal benefits and costs are actually extremely
6 favorable with respect to feed-in tariffs, as long as you do
7 the analysis over more than a couple-year time period, which
8 I think is to be expected for any type of major policy, like
9 a feed-in tariff is.

10 COMMISSIONER BYRON: Agreed. And this Commission
11 is not altering its position or recommendations. I think
12 you'll see additional recommendations in this next IEPR.

13 But Mr. Lewis, unless you're not done, I'd like to
14 thank you for your question and also for your continued
15 involvement in this issue. I'm pleased to hear that you are
16 still involved in advocacy issues around feed-in tariffs.

17 MR. LEWIS: And thank you for your kind comments
18 and also for your tremendous leadership on these and many
19 other issues. Commissioner Byron, thank you.

20 MR. ALVARADO: We have Jim Farrar, that's on
21 WebEx. Mr. Farrar, are you there?

22 MR. FARRAR: I'm sorry, I don't have any questions
23 at this time.

24 MR. ALVARADO: Any other comments or questions
25 from WebEx?

1 Looks like I think we're done with the comments.

2 COMMISSIONER BYRON: Good. Put them all back on
3 mute, please.

4 We're just checking with the agenda. We're a
5 little bit ahead of schedule and I was just wondering if we
6 could go ahead and start, and take a breaking point in about
7 25 minutes for lunch, if that works with the next
8 presentation, otherwise we could break early for lunch.

9 MR. ALVARADO: Either way I think we're fine,
10 either continuing right now or after lunch.

11 COMMISSIONER BOYD: Is there a convenient, roughly
12 half-hour segment?

13 MR. O'DONNELL: We can make one.

14 COMMISSIONER BOYD: Okay. Well, why don't we get
15 a jump on it then, for a change.

16 COMMISSIONER BYRON: Good, thank you. Let's go
17 ahead and begin and we'll plan to take a break for lunch
18 after about 20 minutes.

19 MR. ALVARADO: We just have to load up the slides
20 right now.

21 MR. O'DONNELL: Good morning, my name is Chip
22 O'Donnell, I'm the Vice President for Power Generation
23 Services for KEMA, and KEMA is an international energy
24 consulting firm, and we've been working with the Energy
25 Commission in terms of the entire Cost of Generation Study,

1 and today we are here to present on building and community
2 scale renewable technology costs.

3 And with me is my principal research colleague,
4 Pete Baumstark, who will be presenting along with me. But
5 this is a report that many people have contributed to, among
6 those Karin Corfee, Valerie Nibler, as our project manager,
7 Kevin Sullivan, Nellie Tong, Rick Fiorevanti, and several
8 others.

9 And we're grateful for the opportunity to work
10 with the Commission staff and present today to you, the
11 Commissioners and Assistants to the Commissioners.

12 One of the things I'm constantly reminded of and
13 certainly this project has been transformative in my own
14 experience, is looking at the opportunities that exist in
15 California around renewable energy and the productive
16 application of renewable energy.

17 I need to look no further than to check all of the
18 portraits and posters around this room. Around this room,
19 all the colorful posters are the dreams and aspirations of
20 our children in terms of -- in terms of energy technologies
21 in the future.

22 And one of the things that I was reminded of as we
23 went through this research study was the amount of
24 opportunities that exist if we can help make them happen.

25 And today I'm pleased to be able to present to you

1 not only the cost basis and technology basis for some of
2 these options but, also, we can describe some of the
3 opportunities that may abound if the State chooses to
4 implement the policies and programs that will help nurture
5 some of these emerging technologies.

6 We have a lot to cover today, so first we'll cover
7 the approach and methodology that we used in looking at
8 these building and community scale technologies.

9 We first looked at reference documents and one of
10 the key ones that we looked at was the renewables for
11 heating and cooling study from the International Energy
12 Agency, along with a research report on digesters and
13 bioenergy production.

14 We also recommended, to the Commission, the
15 building and community scale technologies for cost analysis,
16 with a market justification.

17 And we note that community scale technologies are
18 generally below 20 megawatts, building scale technologies
19 are generally below one megawatt.

20 We identified the commercial embodiment of these
21 technologies in California. And as you see as we go
22 forward, some of these emerging commercial technologies are
23 just at the barely commercial state, and we'll discuss that
24 a little bit later on as to why that's the case.

25 And then we looked at the primary commercial

1 embodiments in the year 2018.

2 And so here you see a very -- a very simple flow
3 chart about our methodology, reviewing research, looking at
4 KEMA project databases, and augmenting data from our own
5 projects, updating renewable energy technologies, gaining
6 industry inputs into those cost drivers, and then looking at
7 market trends for future costs.

8 Basically, we looked at, in terms of technology
9 selection, is this technology commercially available? Who
10 is using it?

11 Let's look worldwide and look at where these
12 projects are being initiated?

13 Is the technology commercial elsewhere, other than
14 California, and perhaps other than North America, is it
15 globally viable?

16 And then looking at what would be viable in the
17 State of California.

18 Looking at this list of technologies, by no means,
19 and I think as Mr. Braun correctly stated in his
20 presentation, the renewable energy landscape, and
21 particularly at building and community scale, offers an
22 awful lot of options, and so it took some work to narrow
23 those options down to a subset of true commercially viable
24 technologies that could be utilized in terms of policy
25 decisions and implementation going forward.

1 So we know that there are many renewable energy
2 technologies at building and community scale, these are the
3 ones that we thought offered the most commercial viability
4 in the State of California.

5 One of the things that you'll see is that there
6 are a few thermal technologies that are included here, one
7 of which is solar integrated space and water heating, solar
8 residential water heating, and geothermal heat pumps.

9 And these thermal technologies generally displace,
10 they're displacement technologies, and they either displace
11 natural gas or, in some cases, electricity and natural gas.

12 And so one of the things you'll already see is the
13 less discrete nature of building and community scale
14 renewables versus utility scale renewables, where things
15 tend to be packaged a little bit cleaner, a little bit
16 better, not a lot of variables in the mix, or at least fewer
17 variables in the mix.

18 As we go to building and community scale, those
19 discrete nature of projects tend to diverge.

20 We found in our research, through the course of
21 this study, a number of unique issues that bear mentioning
22 as we look at the journey from utility scale renewables that
23 we covered in our April workshop to today, as we cover
24 building and community scale.

25 We've already talked about the technologies not

1 being as discrete. One of the things that you'll see is
2 that because a lot of these technologies are new or
3 substantive difference -- differences to existing
4 technologies and you'll see that for example in some of the
5 cooling and thermal technologies, they often need incentives
6 to promote adoption.

7 And the key issue around market incentives to
8 promote renewable adoption is if they're going to be
9 implemented our view, as a research team, is that they need
10 to be consistent, because the consistency of an incentive
11 provides basically a market driver to the industry, to
12 developers, and to commercial and private installers.

13 Absent that, the market perceives that as risk.

14 And so what you'll see in the B&C scale technology
15 review is that many of these technologies would benefit from
16 incentives, but need to be done in the right way.

17 One of the other things that we found is that
18 smaller scale technology adoptions often have a wide range
19 of installers and integraters, and that wide range tends to
20 cause variation in contractor expertise, the scope of work,
21 how contracting is done, which complicate the issue a bit
22 more than it would for a utility scale, which are generally
23 a lot more discrete and well defined.

24 We see potential for technology advancement in
25 many of the building and community scale technologies.

1 You'll see that some of these technologies are mature, but
2 some of them are brand-new and only now emerging at
3 commercial scale.

4 The final issue, and probably one of the most
5 important is that at building and community scale levels
6 under 20 megawatts, what we find is a number of technologies
7 are what we call cross-platform.

8 A great example of this is geothermal heat pumps,
9 where you require, generally, well drillers to drill a
10 geothermal field, then you've got an HVAC contractor, a
11 piping and plumbing contractor, and a building integration
12 contractor in terms of the control systems in a commercial
13 building. Putting all of those together takes effort and
14 work, which is one of the primary pathways that we see
15 inhibit some adoption of these types of technologies, just
16 too many different people and a lack of one centralized
17 integration system to do it all, also play a role in
18 building and community scale.

19 So those are some of the differences that we see
20 as we move down the renewable chain into the smaller
21 projects.

22 The first technology that we're reviewing today,
23 at building and community scale, is biomass, and there we've
24 looked at three technologies. We've looked at advanced
25 digester technologies, primarily in the food industry. And

1 we recognized early on that the food industry really has two
2 variants, one is the commercial food processing industry,
3 meat packing and so forth, meat processing, agricultural
4 processing, and the second involves the dairy industry.

5 And what we decided to do was to couple them
6 together and look at those together, while still separating
7 out some of the nuances between the food industry and the
8 dairy industry.

9 The second biomass technology we looked at is a
10 very mature technology, and that's landfill gas power
11 generation, basically taking waste methane from decomposing
12 waste in a landfill, and combusting it to generate
13 electricity.

14 The third and final biomass technology that we
15 selected is wastewater treatment plant application, again a
16 methane capture and then transfer into power production.

17 The types of technologies for biomass digesters
18 are fourfold, covered lagoon, complete mix, plug flow
19 digesters, and fixed film digesters.

20 And one of the things that generally happens is
21 that the application of biomass technology is a discrete and
22 engineered study around the type of application that it
23 represents in terms of the actual application.

24 For example, you would look at a covered lagoon
25 digester and those are generally done in warm climates,

1 basically a deep pit and basically simple.

2 Many meat packing industries will use covered
3 lagoon, versus some of the other ones.

4 One of the things that's happening with advanced
5 biomass technologies is retention time in the digester,
6 itself, is reduced. That allows greater volumes of waste to
7 be processed through the digester and, ultimately, higher
8 production of biogas that can be used for power generation
9 or for other purposes.

10 And basically, with food waste and waste water,
11 developers are moving toward those technologies with lower
12 retention times, basically to improve the economics, the
13 economics of the system.

14 And we see that a lot in terms of dairy
15 applications because one of the difficulties in today's
16 market, in driving digester applications, is not just the
17 cost of technology, but also the risk involved in the dairy
18 industry.

19 And so what developers are doing is they're trying
20 to improve the economics to such a point where it
21 compensates them for taking additional market risk.

22 Basically, in looking at conventional digesters
23 versus advanced, there are two types of techniques that are
24 being used today; one is thermophillic digesters, basically
25 looking at higher heat loads, generally temperatures of 120

1 to 140 degrees Fahrenheit. And basically, those systems are
2 ideal for CHP combined heat and power applications at
3 facilities.

4 The other step is looking at single versus two
5 stage and, basically, the biogas process optimized the PH
6 levels in the digester to basically improve the quality and
7 the quantity of landfill gas that's produced.

8 Key cost influences. And this is one where we go
9 from a generic look at technology to where are the specifics
10 that really drive the cost.

11 The first is the type of food waste that's used in
12 the digester, because each type of food waste will vary in
13 terms of its material properties, characteristics, and the
14 percent solids in the waste.

15 So depending on the type of food waste that is
16 used, the biogas production will be directly proportionate
17 to the level of solids that are in the mix.

18 The second aspect in terms of cost is capacity
19 factor, and that's really a function of looking at the
20 quality of gas that's produced and the amount of gas that's
21 produced, and so that's one of the reasons why an advanced
22 digester technology increased capacity factors are really a
23 function of increasing the biogas production off of a
24 reactor.

25 Installed cost is always a key driver in any

1 capital intensive technology, and biomass is no different,
2 basically, looking at \$4,000 to \$6,000 per kilowatt.

3 And the other issue, and this was one that we
4 spent some time in researching, is that most industrial
5 applications of biogas and advanced digesters are single-
6 facility food plants. And one of the things we were asked
7 to look at was, is there a role for community scale
8 digesters, where waste would be transported to a centralized
9 location to increase the amount of biogas production at one
10 central facility?

11 We think that's a good idea, but the practical
12 applications in terms of development and getting industrial
13 companies to transport that waste are highly unlikely.

14 So we think there are some applications for
15 community scale centralized digesters, however, they're
16 going to be limited in scope.

17 One of the things you see here in terms of
18 technology description is basically fig growers, in
19 California, looking and constructing a covered lagoon system
20 to use waste from cleaning and rehydration of dried figs,
21 and you can see the lagoon pit being excavated in the first
22 photo, and then the covered lagoon on top in terms of
23 capturing the methane given off by decomposition and then
24 used into production of biogas.

25 Basically, the advances that are being made in

1 advanced digesters are incremental, and those incremental
2 advances are around better waste decomposition and biogas
3 production.

4 One of the things that you see, that's unique, is
5 the installed cost range is widely varying. The average
6 cost per kilowatt is about 47 to 48 hundred dollars per
7 kilowatt, with a minimum capital cost that we've found in
8 the \$2,000 per kilowatt range and a maximum in the \$15,000
9 per kilowatt range.

10 And what that really, basically, is a reflection
11 of is the type of technology that's used and the type of
12 food waste that's being decomposed, and the amount of food
13 waste that can be decomposed.

14 And what we have found is that in terms of
15 digester technologies all of these things are location and
16 site specific, so that is the cause in the widely varying
17 range in capital costs.

18 Looking at biogas digesters and looking at
19 trajectories, we don't expect the price trajectories for
20 biomass digestion to change dramatically. We think that any
21 improvements that are being made are going to be made
22 incremental, over time. And basically, a lot of it is due
23 to the physical limitations of the current technology.

24 The production increases that are being made are
25 incremental, but we see those as continuing, but at a slow

1 rate versus what we would see, for example, in solar PV
2 being a lot larger.

3 And what we also find, and I've found this in
4 terms of actually developing biogas projects in the past, is
5 that every facility, every food processing facility tends to
6 be a one-off. And so the ability to get economies of scale
7 from plant to plant are compromised because of the type of
8 food wastes that are being decomposed, the amounts of food
9 waste that are being decomposed, and then the optimal
10 application of technology to make a project work.

11 So we see a lot of variations in these one-off
12 projects that prevent there from being a very significant
13 economy of scale effect.

14 Looking at landfill gas, landfill gas is a very
15 mature technology. Landfill gas operators operate not only
16 in North America, but also throughout the world, and
17 basically one of the main component of the technology is
18 capturing landfill gas from waste decomposition and either
19 injecting that into a gas pipeline or, in our case, looking
20 at it to produce generation.

21 Basically, the impact of low BTU gas, as you'd see
22 in a landfill, roughly 50 to 75 percent of the heating value
23 of traditional natural gas, basically results in slightly
24 reduced efficiency and combustion, and slightly reduced
25 power output as compared to natural gas.

1 But the impact on climate change, the impact on
2 costs make it a viable technology today.

3 One of the issues with landfill gas, we have low
4 installation costs, roughly \$2,000 per kilowatt which, for
5 the size range that we're talking about, is a fairly
6 reasonable cost level and that's one of the reasons why the
7 maturing of the landfill gas processing industry has taken
8 hold.

9 One of the issues in terms of landfill gas
10 recovery operations for generation is that landfill gas, by
11 its nature, is not a very pure substance. And so
12 significant investment in operations need to be devoted in
13 terms of landfill gas cleanup.

14 And you'll notice something that's there in the
15 slide, called siloxane, and siloxanes are silicon like
16 compounds that basically can plug up and foul power
17 generation equipment, and require constant maintenance in
18 terms of keeping the values of that pollutant down, as well
19 as making sure that it does not compromise any of the
20 mechanical systems.

21 Most of the technical issues with landfill gas
22 technologies are known. In California, there are systems
23 that range in size from 100 kilowatts in size up to 50
24 megawatts in size. But the average system is really between
25 2 and 5 megawatts, and our studies have shown just roughly

1 under 4 is the average size.

2 And the typical technology that's used are
3 reciprocating engines that would be modified, they're
4 natural gas reciprocating engines and they would be modified
5 for use on the landfill gas fuel.

6 One of the reasons that gas turbines are not
7 generally used are because of the siloxane issue that we
8 talked about on the other slide, which can plug up very
9 small cooling holes in the hot section of the gas turbine.

10 The State has about 34 additional candidate
11 landfills that would represent about 136 megawatts, and 194,
12 nearly 200 additional potential sites. And the potential
13 sites, basically, have very low kilowatt capabilities of
14 around 100 kilowatts.

15 And what happens at that level is that without
16 micro turbines or other small sources of generation, those
17 cannot always be cost effective.

18 Basically, the key cost drivers in landfill gas
19 technologies are modifications to the engines for the load
20 BTU gas, the engine's susceptibility to contaminants, such
21 as siloxane compounds, the impact of low to medium BTU gas
22 on the engine itself, in terms of wear on the engine.

23 And generally, while CHP can be utilized in
24 landfills, what we've found in our research is that there
25 generally tend to be fewer opportunities to do so.

1 And in terms of long-run cost drivers, we don't
2 expect to see the price of landfill gas technologies to
3 dramatically change in the future, because of the maturity
4 of the market, it's a well-known technology and well-
5 applied, and so we don't anticipate any significant
6 experience curve with that over time.

7 COMMISSIONER BYRON: Mr. O'Donnell?

8 MR. O'DONNELL: Yeah.

9 COMMISSIONER BYRON: All this talk about digester
10 gas and landfill gas has certainly gotten me hungry.

11 (Laughter.)

12 COMMISSIONER BYRON: What do you say we take a
13 break at this time for lunch?

14 COMMISSIONER BOYD: Can I ask a question or two on
15 the slides we've done so far?

16 COMMISSIONER BYRON: Please do.

17 COMMISSIONER BOYD: Yeah, I've looked ahead and it
18 just gets deeper and deeper, and what it might do to your
19 lunch appetite.

20 (Laughter.)

21 COMMISSIONER BOYD: A quick question, your
22 reference to community scale digesters, was that a comment
23 related to all the classes, that is the food classes, the
24 manure, dairies, et cetera, et cetera, or was it more on
25 municipal waste?

1 MR. O'DONNELL: Generally, the comment referred to
2 collating food and agricultural sites into one location.

3 Landfill sites, Commissioner, are discrete, as you
4 know.

5 COMMISSIONER BOYD: Few and far between.

6 MR. O'DONNELL: But the larger issue comes to
7 convincing private enterprises, that operate typically
8 small, discrete processing locations to aggregate all of
9 their waste, basically double process it, because they're
10 hauling it, and making that economic.

11 Our experience and our research have shown us that
12 that's -- you know, it's a laudable goal. The mechanics and
13 mechanisms for getting it there seem to be quite
14 problematic.

15 COMMISSIONER BOYD: It's a goal this agency has
16 been pursuing for several reasons that you're probably
17 familiar with. You know, as you already indicated, the one-
18 off facilities are pretty small.

19 We've been trying to encourage dairies to -- you
20 know, we've been trying to encourage regional facilities of
21 some kind, and multiple dairies for hosts of reasons, and it
22 usually ends up -- well, it doesn't usually end up, it can
23 end up in an above-ground, rather than a lagoon type
24 facility.

25 And as you know, in this State we've got

1 significant water problems that cause lots of grief for
2 lagoon digesters if they're not lined. Co-digestion is a
3 really good thing, that is organic foods and manure, and
4 that runs into all kinds of regulatory problems.

5 And, of course, on-site power generation, using
6 internal combustion engines, which you indicate is the usual
7 practice, run into air quality problems in this State,
8 particularly NOX.

9 MR. O'DONNELL: Yeah.

10 COMMISSIONER BOYD: So those of us who deal with
11 this on a, if not daily, weekly basis, have been beating our
12 heads against all those kinds of issues for quite some time.

13 The latest craze and a positive thing is, you
14 know, collect the biogas, clean it up to pipeline
15 specification quality gas and inject it into the backbone
16 pipeline. That's caught on better but, you know, not all
17 dairies are near the backbone gas system, so they either --
18 either can go with a regional approach, which hasn't -- a
19 lot of proposals, but they haven't been able to get
20 financing to do them, or you go with on-site generation, and
21 the economics go to heck as soon as you add the air quality
22 clean up. Most small dairy farmers walk from those
23 proposals because of the economics.

24 Anyway, that was not a question as much as
25 comment, or an inquiry whether you've seen all of the above

1 in your work in compiling this material?

2 MR. O'DONNELL: Yes, and not just in this
3 research, but also in my development career. You know, I
4 think the idea of a community-based system is a good idea.
5 I mean, it creates the economies of scale that can make a
6 lot of the economics work better.

7 My experience with private companies and private
8 food companies is that they tend to be small; they tend to
9 be limited in terms of the expertise around energy and
10 energy systems. And because of that, it tends to have a
11 second tier influence versus the first tier influence of
12 making the dairy business or the food processing business
13 work well.

14 And so you end up with a bit of, you know, good
15 intentions, but difficult to make the intentions into
16 reality. And I think part of that is also based on the
17 economics of the dairy industry, itself.

18 KEMA was advising a client that was very active in
19 looking at dairy digesters, just this year, and this
20 particular company has pulled away from several projects,
21 typically not because of the economics of the project, the
22 project actually worked, but because of the market risk that
23 they would be taking over a 15- or 20-year period which you
24 would need for financing, and the current hard times that
25 are being felt by the dairy industry in North America.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AFTERNOON SESSION

COMMISSIONER BYRON: Ms. Green?

MS. GREEN: Are we ready?

COMMISSIONER BYRON: If you'll all be seated,
we'll go ahead and reconvene.

MS. GREEN: All right, we'll continue with KEMA's
presentation.

COMMISSIONER BYRON: Mr. O'Donnell, I made sure I
had a glass of milk at lunch today.

(Laughter.)

MR. O'DONNELL: And I'm sure the dairy farmers of
California appreciate your support. Thank you,
Commissioner.

We're back and we're talking about building and
community scale renewable energy technologies, those
technologies less than 20 megawatts, and we're focused right
now on biomass, and specifically, biogas applications from
waste water treatment applications.

The basic technology improvements that we see in
waste water treatment biogas process is that thermophillic
digesters and devices can be used to increase the
applicability of this technology.

1 Basically, all of the current digester
2 technologies that are in force today can be utilized and are
3 utilized, in many cases, at waste water treatment plants
4 across the United States.

5 There's one that I'm personally familiar with,
6 Veolia Environmental Services, a Milwaukee waste water
7 treatment plant, that they operate from the City of
8 Milwaukee, where they use digesters and power recip engines
9 off of that.

10 The key to waste water treatment is how do you get
11 scale, and the ability to increase to large systems that are
12 the 5- to 10-megawatt and the around-the-clock operation
13 basically are the key opportunity areas for advanced
14 systems, such as the two-stage digester technology that we
15 talked about earlier.

16 And basically, in terms of waste water treatment
17 application, some of the key components in our research is
18 that high capacity factors are always a part of waste water
19 treatment operations because they process waste water 24
20 hours a day, seven days a week, and so there's always a
21 ready source of methane through digestion.

22 Looking at overall installed costs, we anticipate
23 that costs will range somewhere between \$3,000 and \$6,000
24 per kilowatt. But again the key is, is that depending on
25 the nature of the waste, the amount, the volume, the

1 concentration of solids that are in the raw fuel mix, no
2 digester that we've seen is really a standard application,
3 and so everything tends to be customized in its application.

4 And most waste water treatment systems today
5 employ some form of combined heat and power, or
6 cogeneration. And oftentimes what happens in the cycle for
7 waste water treatment plants and biogas applications is that
8 waste heat from either a reciprocating engine or perhaps a
9 small turbine is used to heat the incoming water and
10 increase the biogas availability, and that improves the
11 overall economics through better thermal utilization.

12 And then the final issue in terms of cost
13 influence of waste water treatment plants is that the size
14 range tends to be limited in most cases to one to five
15 megawatts overall, and that's dictated primarily by the size
16 of the waste water treatment plant, itself.

17 When waste water treatment digesters first came
18 out and waste treatment processing options were available, a
19 lot of the early focus for waste water treatment plants were
20 on technologies, such as micro turbines and fuel cells. And
21 this was the subject of an earlier discussion we had,
22 basically, those have all gone by the wayside in favor of
23 reciprocating engine technologies.

24 And the real fundamental issue is that anything
25 that a micro turbine and a fuel cell can do in this

1 application, a reciprocating engine, or a gas turbine, tends
2 to do it more reliably and more cheaply.

3 And so the issue there is the market is starting
4 to dictate the choices of technology based on cost and based
5 on reliability.

6 And as we've talked about before with other biogas
7 and biomass technologies, the type of waste stream and the
8 type of decomposition products that are present in those
9 flow streams impact the biogas generation and the generation
10 of power.

11 What we see for waste water treatment plants is
12 that because the technology is fairly stable and fairly
13 uniform, even those waste streams are there, cost ranges can
14 go typically from \$3,000 to \$4,000 a kilowatt, with an
15 average of about \$3,470 per kilowatt.

16 And we also, basically, are looking a minimal
17 experience curve effects over time owing to the maturity of
18 the technology.

19 We see, again, in terms of the technology cost
20 drivers a mature market, both on the generation side and on
21 the digester and processing side.

22 The real issue in terms of waste water treatment
23 is that most waste water treatment plants do have the
24 ability to use the advanced two-stage digesters, and part of
25 the reason for that is the skilled nature, itself, of waste

1 water treatment processing leads to a fairly high degree of
2 technical skill among plant operation staff.

3 And it's been our experience through the research
4 and through our own project experience that those types of
5 facilities, waste water treatment facilities, often have the
6 type of skilled labor that is required to operate advanced
7 digester technology.

8 Here's a picture right now of a typical process in
9 terms of the advanced treatment, and it flows in between the
10 primary and secondary treatments overall, into digestion and
11 de-watering.

12 And here's an example of an advanced two-stage
13 digester system incorporated into a waste water treatment
14 plant.

15 Now to present on solar photovoltaic technologies
16 is one of our principal investigators and researchers, Pete
17 Baumstark.

18 MR. BAUMSTARK: Thank you, Chip.

19 My name is Pete Baumstark, I'm with KEMA, I do
20 different forms of energy analysis.

21 And I'm gong to actually speak about, oh, the PV
22 technologies, wind, hydro, then Chip will come back up to
23 speak about a couple and then I'll round it off with the
24 solar hot water.

25 Okay. So, you know, the PV technologies, we

1 actually split it up into three categories. First is the
2 residential fixed tilt. There is -- you know, the things
3 that influence the cost are capacity factors, also the
4 installed costs.

5 Now, I was able to get the installed costs from
6 the CSI database, so this represents nearly 15,000 systems
7 installed over the past two years, and so the cost we have
8 it quite a range but, you know, with the average of just
9 over \$8.00 a watt.

10 Now, this type of technology, you know, on the
11 average you're talking about a five-kilowatt system, usually
12 mounted on the roof, sometimes mounted on the pole, and you
13 really just have modules and balance of systems, and it's a
14 very simple system.

15 Now, we already talked about the cost drivers but
16 it's, you know, generally you're talking installation costs.
17 Now, these are going to be significantly greater than your
18 utility scale plants. Residential PV, we're looking at
19 roughly a two to one cost versus the utility scale.

20 And one thing we are finding is quite a range, you
21 know, especially if you get into systems below seven
22 kilowatts in size, that there's a huge range in the CSI
23 database as far as installed costs.

24 So here I show the range that we've been seeing
25 for residential systems, and I show a much more modest cost

1 decline over time.

2 You know, in this case it's a little different
3 type of technology -- no, it's not a different type of
4 technology but, you know, when you're talking the utility
5 scale projects you're talking about, you know, big bulk
6 purchases, you're talking about not very many systems
7 installed yet, so you have tremendous potential for learning
8 effects.

9 Now, for the residential and building scale, you
10 know, there's a lot of learning that's been going on so
11 we're foreseeing a much more modest cost decrease for the
12 residential and building scale.

13 The next technology would just be commercial fixed
14 tilt. Now, this can either be pole mounted or be on
15 rooftops.

16 Through the CSI database, the average system
17 installed over the past couple of years is about 138
18 kilowatts. Now, this is up quite a bit from prior to 2007,
19 just because the CSI program increased the -- increased the
20 cap at one megawatt, so you have the potential for one
21 megawatt systems. Previously, I thin it was 50 kilowatts
22 was the cap.

23 COMMISSIONER BYRON: If I may interrupt?

24 MR. BAUMSTARK: Yes?

25 COMMISSIONER BYRON: Is the only distinction

1 between the technology the fact that it's tilted?

2 MR. BAUMSTARK: The fact that it's tilted? Oh,
3 okay. No, I call it commercial fixed tilt to differentiate
4 it from pole-mounted tracking.

5 I do have another technology where I look at
6 tracking for a community scale application, so that's the
7 only difference.

8 And here we see the installed costs being quite a
9 bit less, about \$7.70 a watt, is what we're seeing from the
10 CSI database.

11 Now, this technology here, I show a picture of a
12 roofing integral product, they're also available in mounting
13 structures that go on commercial flat roofs, as well as give
14 a tilt.

15 And again, you really just have your modules and
16 your balance of systems, primarily consisting of the
17 inverters.

18 There is a possibility for electrical storage with
19 these units. We're not seeing a lot of systems with storage
20 capability, they're almost, you know, predominantly net
21 metered applications in California.

22 So here I show the cost ranges. Again, I give
23 like a -- you know, one thing to note is the capacity
24 factors. Now, I have capacity factors listed here as a cost
25 driver. Now, that is going to depend on location, it will

1 depend on tilt of the system, amount of shading, et cetera.

2 The values I've gotten for capacity factor for,
3 they're based on a 2006 study of self-generation -- of the
4 installations in California's Self-Generation Incentive
5 Program, and that is the range I got for California, it's
6 about 14 percent to 17 and a half percent is your capacity
7 factor.

8 And here again I show a -- you know, we're seeing
9 a pretty wide range of installed costs, and I show a cost
10 decrease over time, very similar to your residential PV
11 systems.

12 And the third PV technology is ground based
13 tracking systems. Now basically, in California, you're
14 going to see about a 30 percent increase in output with a
15 single access tracker versus a fixed tilt system.

16 One thing about it is if you include trackers, you
17 need a greater acreage relative to the kilowatt hour output
18 than you would with the fixed tilt system, but you get a
19 much greater output per installed kilowatt. So it just
20 would depend on the -- you know, on the land restrictions
21 and how much land you have available, and the cost of the PV
22 system. You can get more output per watt, but a lesser
23 output per acre with the single access tracking.

24 Okay. You know, one thing I want to interject
25 here is I've been speaking to a few of the program

1 administrators for the CSI, and they've been telling me
2 that -- about performance-based incentive systems under the
3 CSI, and they're seeing very significant payments to these
4 systems.

5 You know, some customers and some installers, you
6 know, they've figured out that under a PBI incentive, you
7 know, they can do quite well with a single access tracking
8 system. So we're seeing more and more of those in
9 California with the advent of PBI.

10 One thing we did talk about, capacity factors,
11 it's about a 30 percent increase relative to fixed tilt
12 systems, average in California. And one thing, my analysis
13 included larger systems, I assumed these would be systems
14 above 500 kilowatt would be your -- basically, a community
15 scale system on a tract of land.

16 My analysis showed you were talking maybe a one
17 dollar increase per watt of installed costs for including
18 the tracker.

19 Also, as you get into these larger systems, above
20 500 kilowatt, you are -- you know, costs tend to do down. I
21 did an analysis of the higher output systems for the CSI and
22 found as you get larger, you know, your cost per system goes
23 down. So that's how I derived these particular costs, and I
24 get about \$7.30 a watt for this scale system.

25 COMMISSIONER BYRON: Of course, now we're talking

1 about land, not rooftops.

2 MR. BAUMSTARK: That's true. That's true.

3 COMMISSIONER BYRON: Did you factor in the cost of
4 land and mitigation?

5 MR. BAUMSTARK: I did not factor in the cost of
6 land. I assumed that the building or community owner
7 would -- you know, they would own the land, I did not factor
8 that in.

9 COMMISSIONER BYRON: Well, but how many, you said
10 500 kilowatts; correct?

11 MR. BAUMSTARK: Right, right.

12 COMMISSIONER BYRON: So just my rule of thumb is
13 that's about four acres of rooftop.

14 MR. BAUMSTARK: Right.

15 COMMISSIONER BYRON: And, of course, the pictures
16 you're showing are not on rooftops.

17 MR. BAUMSTARK: No, 500 -- yeah, four acres, okay.

18 COMMISSIONER BYRON: I just -- a range of about
19 eight acres to a megawatt kind of number.

20 MR. BAUMSTARK: Okay, I thought it was --

21 COMMISSIONER BYRON: My point is your pictures --
22 your pictures aren't on rooftops either, are they?

23 MR. BAUMSTARK: Right. No, they would not be on
24 rooftops, they would be on a tract of land for this
25 technology, you would not -- you typically would not use a

1 tracking mechanism on a rooftop.

2 COMMISSIONER BYRON: And so I ask a question, do
3 you think that we should be factoring in land and mitigation
4 costs associated with that land because now we're -- now
5 we're talking about acres of land?

6 MR. BAUMSTARK: Yeah, we did not factor it in.
7 That is a good point. That is a good point.

8 Okay. And here I show the -- again, it's cost
9 trajectories over time, assuming a more modest decrease than
10 we did for the utility scale systems.

11 Okay, so that rounds it off for the PV
12 technologies. The next is what we call community scale
13 wind.

14 Now, community scale wind is -- it's kind of
15 a -- I guess I want to call it a tweener. You know, you
16 have your utility scale wind systems and then you also have
17 your building scale wind systems. The building scale wind,
18 you know, we do have a rebate program targeted for that in
19 California, called the Emerging Renewables Program.

20 And, you know, we do have the Self-Generation
21 Incentive Program that would include some community scale
22 type systems.

23 So what I did is I took a look -- so when you come
24 up to capacity factors versus equipment costs, there is a
25 big discrepancy between utility scale and emerging renewable

1 program building scale projects, and I'll go through how I
2 went through that analysis.

3 Okay. And one thing, community scale wind, that
4 refers really to the intention of the development, it's just
5 owned by a community, or certain stakeholders in the
6 community, and not necessarily owned by a third-party
7 generator.

8 Generally, they range in size from 100 kilowatts
9 to ten megawatts. The definition, you know, really the
10 definition of community wind is more the intent of the
11 ownership than the size, though, but that's the rough range
12 we've been seeing.

13 Now, there's really two main cost drivers, you
14 have the installed costs, where the turbines themselves are
15 about 75 percent of the installed costs. And one thing with
16 that is the trend of cost for wind turbines has been seeing
17 an increase over the past several years. You know, since
18 about 2002 every year we're seeing increased costs.

19 There are several factors that feed into that, one
20 of them would be the cost of the dollar versus the Euro,
21 there's commodity costs, there is U.S. manufacturing
22 production capacity, et cetera.

23 Many of these drivers have been showing a reversal
24 over the past one or two years. But at the same time, the
25 trend has been increase in cost for the turbine

1 installations.

2 Another, but on the flip side, we are also seeing
3 capacity factors increasing. You know, there are larger
4 turbines coming on the market that drive higher towers, get
5 into better wind resources, and we have been seeing a steady
6 increase in installed capacity factors for wind turbine
7 projects.

8 COMMISSIONER BYRON: Now, let me quiz you on the
9 capacity factor thing?

10 MR. BAUMSTARK: Yeah, uh-hum.

11 COMMISSIONER BYRON: You say a hundred kilowatts
12 to ten megawatts --

13 MR. BAUMSTARK: Right.

14 COMMISSIONER BYRON: -- so how many turbines are
15 we talking about?

16 MR. BAUMSTARK: We are talking -- you know, it
17 will depend on the site. You know, if you're talking a one-
18 megawatt turbine is pretty common so, yeah, in that case
19 you're talking ten of them.

20 COMMISSIONER BYRON: Okay, so at one turbine the
21 gear box goes out, it's not operating, the capacity factor's
22 at zero until it's fixed.

23 MR. BAUMSTARK: Right.

24 COMMISSIONER BYRON: And the farmers and the local
25 business -- local businesses and schools are going to have

1 to make a phone call and get somebody out there, and it
2 could take a while to get it fixed, is my point, and also
3 the O&M costs, I would think, would be substantially higher
4 on a kilowatt basis or something like that. Have you
5 factored either of those things in?

6 MR. BAUMSTARK: You know, well, as far as the
7 extended capacity factor, it's there within the range,
8 definitely.

9 You know, one thing I did is I took a look at
10 the -- like the capacity factors we've been seeing for the
11 emerging renewables program, which is pretty low, which
12 would take into account down time, and time to get people
13 out there to fix, and then there is also studies for the
14 utility scale.

15 So the average capacity factor we're estimating
16 falls somewhere in between that, so that would be the
17 capacity factor is included there.

18 As far as O&M costs, what I ended up using is the
19 LB&L numbers, they do have -- see, the thing with O&M costs
20 is they increase over time. Like in ten years out you're
21 going to have more O&M than you did at year two.

22 And their analysis included -- it was an aggregate
23 of community and utility scale projects.

24 So it is included in there. I didn't necessarily
25 try to dissect it as far as a little bit more for the

1 projects, you know, on people's farms and whatnot so --

2 COMMISSIONER BYRON: And I think, Mr. Baumstark,
3 there's no right answer to my question, really.

4 MR. BAUMSTARK: Right.

5 COMMISSIONER BYRON: I'm just kind of trying to
6 get a sense of how you thought about this process and how
7 you factored these different things in.

8 MR. BAUMSTARK: Sure.

9 COMMISSIONER BYRON: Because they're going to
10 operate differently, obviously, at this scale than they
11 would at large utility scale.

12 MR. BAUMSTARK: They would, yeah.

13 COMMISSIONER BYRON: Okay, thank you.

14 MR. BAUMSTARK: Okay. All right. Okay, the cost
15 trajectory. Now, what we are seeing in, as I mentioned
16 before, in recent years the costs have been steadily
17 increasing.

18 Now, many of the factors associated with that
19 we've been showing reversals, but as of yet, you know, as of
20 the 2008 LB&L study, which is probably the most reliable
21 cost study, they're still in 2008 showing an increase from
22 previous years.

23 So we do expect a modest increase, there will be
24 some learning effects involved, there's some reversal of the
25 indicators driving the costs, but we still project a modest

1 increase over time for wind turbine technologies.

2 Okay, next is in conduit hydroelectric. Now, as
3 far as what is meant by in conduit hydroelectric, you know,
4 you were talking specifically municipal water districts,
5 you're talking irrigations districts and whatnot that would
6 include -- you know, it would include generators within
7 their water system.

8 Generally, we're considering 100 kilowatts to two
9 megawatt type systems.

10 Now, here the issue with that is, see, a lot of
11 these various water purveyors, they're going to have their
12 resource, you know, the water resource at different
13 availabilities for different times of the year.

14 A lot of times the irrigation districts you'll
15 have maybe six and a half months where you're irrigating and
16 during the rainy season you're not, so that is all factored
17 into capacity factor.

18 And here I show a chart showing -- what it's
19 showing is O&M expenses versus capacity factor for these
20 smaller in conduit type systems. And it's all over the map,
21 it can range -- it can range dramatically based on several
22 factors and the water resource that they have available.

23 So, you know, we got roughly a .51 capacity factor
24 on average and about \$11.00 a megawatt hour, you know, in
25 O&M.

1 Okay, we already talked about a lot of this. But
2 the two, there are basically two main types of turbines.
3 You know, you have your impulse, which basically just gets
4 its power from the moving water. Then you have the
5 reaction, which is a combination of moving water and
6 pressure.

7 And below these there's a subset of several other
8 categories. Each design works better with certain
9 combinations of flow ahead than others, so it's always a
10 matter of just picking, you know, surveying your water
11 resource and then choosing the correct technology for that
12 resource.

13 And I do have -- in our interim report, I do have
14 a further breakdown of these technologies.

15 So we already talked about capacity factor and the
16 O&M.

17 Capital costs, we're seeing roughly about \$2.00 a
18 watt for these types of systems, but there is a significant
19 range. I do have a further breakdown in the interim O&M
20 report and it does break it down per different types of
21 turbines, you know, different, whether reaction or impulse
22 and the various categories within there.

23 And I have an average for California. There's
24 various sites that we have been surveying in California and
25 I was able to -- that's how I was able to extrapolate the

1 cost, or the average cost that we could see.

2 Now, we're seeing the in conduit hydroelectric as
3 a mature technology. We don't foresee there to be a lot of
4 learning effects associated with this. We foresee,
5 actually, the learning effects of these installations will
6 pretty much be offset by inflation, so I'm showing a fairly
7 flat curve.

8 And those are -- I do have one additional
9 technology that's at the end. Unless there are any
10 questions, I would want to turn this back over to Chip to go
11 over the integrated space and water heating.

12 COMMISSIONER BYRON: No. Thank you for the
13 overview.

14 MR. BAUMSTARK: Okay.

15 MR. O'DONNELL: Thanks Pete.

16 As we continue the presentation, we're now into
17 what I would call the thermal technologies or the
18 displacement technologies. And these are unique
19 technologies that don't necessarily generate electricity,
20 but act as offsets either for the use of electricity, the
21 reduction of demand, or for the displacement of natural gas.

22 And the first technology of this type is
23 integrated solar space and water heating. And basically, as
24 we've researched this technology, the use of integrated
25 solar space and water heating has good potential to reduce

1 natural gas and electricity use in California, which helps
2 with energy efficiency, which helps with California's State
3 energy security, as we've talked earlier today about the
4 natural gas variations in the State over the past several
5 years.

6 It also contributes well to climate action goals,
7 not only for the State, but for businesses and utilities
8 across the State.

9 And so the other issue in this technology is that
10 there are some interesting research developments that aren't
11 close by, but in the midterm future could offer some very
12 substantial benefits in terms of its applicability to the
13 State of California.

14 What is integrated solar space and water heating?
15 Basically, what it is, is it's utilizing the thermal power
16 of the sun to heat not only water for domestic hot water and
17 heating use, but also using that thermal heat to heat space,
18 building open spaces used in climate control systems.

19 And the key cost influences around the technology
20 are several. First and foremost is the amount of solar
21 collection area that's needed. In each of these systems,
22 based on the location of the system, where it's installed,
23 and the solar irradiation characteristics of that site, you
24 basically go through a sizing program and calculate a
25 certain solar collection area which is used for the solar

1 thermal collector.

2 One of the interesting things about integrated
3 solar space and water heating is that community scale costs
4 for this technology can be high, and they're high based on a
5 number of factors.

6 There is a developer that developed an integrated
7 solar site for a community, called Drake Landing, and the
8 costs at Drake Landing for delivering heat, this was a proof
9 of concept demonstration, but the cost of delivering heat
10 was about \$23 million per MM BTU. It was incredibly high
11 and part of it was it was a large community scale, very
12 similar to a development that you would see in Europe, but
13 the larger issue was there was a massive thermal storage
14 capability that was designed into the system.

15 And this is an example of one of the things that
16 you see when you go from utility scale, where things are
17 much more discrete, to building and community scale where
18 they're really all over the map, very similar to Pete's
19 hydroelectric graph where everything was scattered.

20 This is definitely an outlier as a proof of
21 concept demonstration project, but it just goes to show you
22 \$23 million per MM BTU is something in terms of capital
23 costs that wouldn't go well.

24 Thankfully, the application of this technology and
25 other applications is becoming more and more cost

1 competitive.

2 Another key cost influence is whether the
3 installation of this technology is for a new building or
4 retrofit of existing space. And the large issue here is if
5 you follow lead principles, for example sustainable design
6 in building principles, and you integrate solar thermal
7 collection area into the rooftop of a brand-new building,
8 it's usually much more cost effective than retrofitting an
9 existing building with those technologies.

10 And so we see the applicability of integrated
11 solar more so on the new building site, as lead becomes more
12 integrated into building codes across the nation. But also
13 just, frankly, from the cost effectiveness of installing the
14 system in a new building.

15 Another key cost influence for integrated solar is
16 natural gas price, because that sets the tipping point, that
17 sets the point at where it's economically beneficial to use
18 the power of the sun to heat water for heating and for
19 domestic hot water versus utilizing natural gas.

20 One of the big influences that we see in terms of
21 the commercial applicability and scaling potential of
22 integrated solar space and water heating is the fact that
23 today, if you go through the body of research and the body
24 of manufacturers that are promoting this technology, most
25 solar hot water tank systems are sized anywhere between 80

1 and 160 gallons. And 80 gallons is primarily the type of
2 water tank that you'd use for a large home.

3 And so when you look at expanding this technology
4 from the residential level into the community or building
5 level for commercial buildings, where it could have
6 potentially more applicability, more scale up work really
7 needs to be done in terms of system size.

8 Today, the way that's done is either by
9 modularizing these 80- or 120-gallon tanks over and over
10 again, in multiple systems, which is capital intensive, or
11 custom designing a system with larger tankage, and larger
12 piping and networks, which tends to be more intensive on the
13 engineering front.

14 So that's the balance point that we're at right
15 now in terms of integrated solar space and water heating.

16 There are really two different types of systems
17 that are used today in the commercial embodiment of
18 integrated space and water heating.

19 The first, in the upper picture, is what would be
20 called a fluidic or a hydronic system. And hydronic
21 basically means the use of water in a circuit. And what you
22 see is on the very top of the drawing there is a solar
23 collector and then, basically, that goes through a tanking
24 system for storage and then pumping for distribution.

25 And the pumping happens in two forms. One is for

1 domestic hot water it goes through the normal hot water
2 circuit, just like any other hot water system in any other
3 commercial building.

4 The second is the boiler system or the heating
5 circuit using hot water heat as the medium of exchange
6 versus forced air or other technologies.

7 So that's really the fluidic system, which is
8 probably the most prevalent commercial embodiment in the
9 country and in California.

10 The second system is called either transpiration
11 or an air system. And realistically, all that is, is
12 basically using light absorbing metal panels that absorb the
13 solar radiation and heat the surrounding air.

14 That surrounding air is brought into a building
15 for space heating and/or is used to pre-heat hot water in
16 the boiler system for domestic hot water use. And both
17 systems have applicability for this type of technology.

18 One of the key things that we see in terms of --
19 in terms of this technology is, and this is something we
20 mentioned earlier in the presentation, a fragmented supply
21 or business model really tends to limit the applicability of
22 this technology so far in its commercial embodiment, to the
23 point where today it's only a marginally viable commercial
24 technology.

25 It is being utilized; you can find a numerous

1 number of small integrators that are actually applying this
2 technology both at residential and small commercial scale.

3 But when you think about how this technology's
4 applied, it creates issues.

5 Let's look at the air system. For the air system
6 you need a building and a roofing contractor to be able to
7 install the solar thermal panels. Then you need to bring
8 that into an HVAC contractor who can take that heated air
9 and process it through the HVAC system of a commercial
10 building.

11 If you're looking at a water system, it even
12 becomes more complicated because you've got a roofer to
13 install the solar collector area; you've got an engineer to
14 size the solar collection area and the panels. You want to
15 make sure that those panels are certified so that you can
16 use that for tax credit purposes.

17 Then you've got a plumber to pipe everything and
18 you've got an HVAC contractor to put in the boiler system.

19 When you look at that supply chain of events for
20 one homeowner, or one small business owner, or one
21 commercial building owner to install the system, it becomes
22 an impediment. And in our view at least, and what the
23 research is telling us, it's one of the issues that become a
24 factor in terms of commercial adoption.

25 We've talked a lot about this. The one other

1 issue is that limited standards currently exist for this
2 type of equipment. So consumers and people who would be
3 interested in implementing this technology do not yet have a
4 consistent set of safety equipment and performance
5 standards.

6 And while those are being worked on right now, you
7 know, those are the things that are also required for CSI
8 incentives for the State of California.

9 So there's a wonderful program out there, as Pete
10 alluded to, in terms of providing incentives for solar
11 energy adoption, but this is an area where this technology
12 is just now becoming commercial to the point where the
13 standardization of equipment and the certification of that
14 equipment is still being developed.

15 As that catches up, we'll see some incremental
16 effects.

17 One of the interesting things that you see in
18 terms of the installed cost range is the installed cost
19 range is actually fairly competitive and roughly, just in
20 terms of kilowatt equivalent, just under \$2,000 per kilowatt
21 installed, with a fairly narrow cost range, and that's
22 because a lot of the technology is already well defined.

23 The issues between small and large go to location
24 and size of solar collector area, and the complexity of the
25 system, and also whether it's an air system or a hydronic or

1 water system.

2 This is an intriguing technology to us, as we went
3 through the research, because it has an awful lot of
4 potential. It has an awful lot of potential in terms of its
5 applicability and climate protection. It has an awful lot
6 of potential in terms of the future scaling effects of the
7 technology, even though we're not seeing them yet.

8 And we predict with the growth of this industry in
9 fits and starts, it will take at least five years for this
10 technology to really hit mainstream and when it does we'll
11 start seeing more and more cost effects.

12 And I'd like to take a moment to explain some of
13 the unique aspects of this technology that could happen in
14 California, where research is going on at a global level.

15 The really interesting part of this technology is
16 not just solar space and water heating for California. If
17 you think about California's climate, there are unlimited
18 applications for heating. There are lots of applications
19 for cooling. For cooling.

20 The research that's going on in this technology
21 is, and this is happening both in Germany and in Israel, is
22 integrating solar space, water heating, and cooling, using
23 either one of two types of cooling technologies.

24 One is desiccant cooling technology and the second
25 is thermal absorber technology, that's currently used on a

1 large scale for utilizing waste heat off of boilers and so
2 forth.

3 The issue with those technologies right now is
4 that research is only now being done. There are commercial
5 equipments that are available, but not yet commercially
6 viable in terms of the economics. And a lot of the
7 fundamental research that's being done, both in Germany and
8 Israel, around cooling applications is lowering the cost of
9 the thermal cooling circuit, lowering the cost of the
10 desiccant chiller, or the absorber, making them modular,
11 making them plug and play.

12 When that happens, this technology could be a
13 disruptive influence in terms of its applicability to the
14 State of California, because at that point you've really got
15 a four season solution and one that more closely mirrors the
16 climatic aspects of the State from north to south.

17 Moving on to another innovative technology that's
18 just not really gaining hold, and we've certainly seen a lot
19 more noise about geothermal heat pumps in the last several
20 years, is this is another technology that really could help
21 in terms of energy efficiency, in terms of demand reduction
22 for electricity demand in the State of California, and could
23 also impact climate change goals over all because of the
24 higher efficiency of the technology.

25 I like to refer to geothermal heat pumps,

1 basically, as indirect solar. Indirect solar, because what
2 we're using here is we're using the constant temperature of
3 the earth, which is warmed by the sun, as basically a heat
4 source and a heat pump source.

5 And that constant temperature allows higher
6 efficiency than normal air-based heat pump systems, it's
7 very reliable, and once the first cost is passed, it's much
8 less expensive.

9 The key overall issues involved with geothermal
10 heat pump design and application are the initial cost and
11 technology involved in installing the ground well field that
12 serves as the heat sink for the heat pump application. That
13 takes land, that takes space, most importantly it takes
14 design and installation.

15 Here's another example where the discrete nature
16 of utility technologies at utility scale are blurred by the
17 multiple people that it takes to make a community scale
18 technology work.

19 For example, for the heat pump well field, itself,
20 you need a well driller, you need a certified civil
21 engineer, you may need geotechnical analysis of the field to
22 be able to look at the soil properties of the field, drill
23 the wells in the right amount and the right depth, and then
24 assemble the plumbing and piping circuit for it to all work.

25 You know, right there just in getting the ground

1 well together three contractors versus one, if you're just
2 installing a conventional heat pump system.

3 And that's one of the areas in terms of market
4 development that needs to be overcome for the technology.

5 One of the other issues and specifically to
6 geothermal heat pumps is the geothermal systems are sized
7 specific to the building and the type of use of the
8 building.

9 A restaurant will have a different thermal use
10 profile than an office building that empties out at 5:30 or
11 6:00 o'clock every evening. And so the types and usages of
12 the building all have to be considered in the system and our
13 key cost drivers.

14 Maintenance for geothermal systems is very low.
15 The type of soil, as we've talked about, has a key influence
16 on the size of the field that's used for thermal heat pump.
17 And one of the key issues in terms of managing the long-term
18 reliability of geothermal heat pumps is water scaling,
19 because that can damage the overall system efficiency of the
20 heat pump, itself.

21 What you see on the left, the picture on the left
22 is a picture of probably the most prevalent type of system
23 that is utilized for community and building scale, and
24 that's a vertical ground bore system.

25 Residential tend to use loop systems that are

1 horizontal in character, but for most community scale and
2 building scale systems the vertical ground bore is often the
3 most space efficient.

4 One of the key issues and I think one of the
5 things that has limited the commercial appeal of geothermal
6 heat pump applications to this point, absent the climate
7 change debate, is that for each system a detailed
8 engineering and economic analysis really has to be done for
9 each site to make it work.

10 And on the one hand this makes it very palatable
11 for public buildings, for schools, for hospitals, for
12 prisons and so forth, where that can be factored into a new
13 building, but the larger issue from a manufacturer's stand
14 point, and we've talked to several manufacturers is, you
15 know, they sell and support the equipment for geothermal
16 heat pumps, but they don't necessarily want to be the system
17 integrator because it's not generally a function of their
18 core business which is in the older technology, air source
19 and other water source heat pumps that are utilized.

20 So they see it as a cannibalization of their
21 direct sales versus advancing a newer renewable technology,
22 and so there ends up being kind of a conflict in the
23 manufacturing level between the adoption of geothermal heat
24 pumps. They'd rather take that small niche business and
25 leave it to others and that leaves the country and the State

1 of California with a number of very well-meaning and well-
2 skilled small integrators.

3 When you think about that from a community or
4 building scale perspective as an owner, what that means is
5 you have to make a conscious decision today to implement
6 geothermal technologies even though in the long run they're
7 a lot more cost effective and they're a lot more efficient.

8 And so today that's one of the reasons why you see
9 the building usages being more in a public domain versus in
10 a private domain, it's just a higher bar that has to be
11 overcome to fill.

12 One of the key things that we see in terms of
13 long-term cost drivers is right now there isn't enough --
14 there isn't enough critical mass in terms of scale to drive
15 experience curve effects.

16 And as we mentioned before, each design tends to
17 be custom tailored to the building and tends to be unique.
18 And so while there are some learnings, without some form of
19 disrupter that we haven't seen yet, we see basically
20 increases that are along the lines of inflation over the
21 period of time.

22 One of the key things to take a look at in terms
23 of overall energy costs is the roughly \$500 a ton year in
24 overall cost, at which typically is 20 to 30 percent lower
25 overall than the cost of conventional heat pump generation.

1 And now, Pete Baumstark will take a look at the
2 solar water heating residential technology.

3 MR. BAUMSTARK: Okay, thank you, Chip.

4 Okay, residential solar hot water pump, there's
5 been a recent legislation in California that resulted in a
6 pilot program in the San Diego area for incentives for solar
7 hot water. You know, the thing with that is, you know,
8 prior to that most of the solar hot water experienced in
9 California was obtained back in the eighties, and with AB
10 1470 we've seen resurgence in California.

11 Now, the incentives have gotten extended for that
12 pilot program or the program got extended with increased
13 incentive funding. There is talk that it will become a
14 statewide program and it's unclear at this time whether it
15 will. But, you know, as far as most of the cost data and
16 whatnot, I relied on the solar hot water pilot program from
17 San Diego that would be applicable to California.

18 Now, there are basically five different types of
19 systems, and depending on the climate zone, depending on the
20 part of the country, some systems will work better than
21 others.

22 You know, you essentially have a couple types that
23 are direct systems, meaning water comes into the collector
24 from your water service; it goes through the collector,
25 cycles into a tank and is used directly as hot water in a

1 household.

2 There are other indirect systems where you have a
3 circulating fluid, circulating heat transfer fluid that
4 would heat water in a tank that would go and supplement, for
5 example, a natural gas water heater.

6 You know, we've seen both types installed under
7 the San Diego program.

8 Now, one example is like in Hawaii, they almost
9 always have an integrated system where you have -- you have
10 a hot water collector, with a tank that is mounted integral
11 to the collector, that is at a higher elevation and that's a
12 direct system where you essentially heat the water stored in
13 a tank, right at the collector, and use the hot water.

14 In such a system you don't really -- you use it in
15 warmer climates because you don't really need the freeze
16 protection that in colder climates you would.

17 And there are other systems, there are glycol
18 systems, there was one system called the drain back system
19 where, essentially, you pump glycol through your collector,
20 it goes into a heat exchanger in your tank, heats the water,
21 then when the sun goes down all the glycol just drains back
22 into your storage tank. And, you know, that is one method
23 of freeze protection that is useful mainly in the northern
24 climates or colder climates.

25 Now, if you look at the ratio of systems installed

1 under the San Diego pilot program, it's about 50/50. You
2 know, you have about 50 percent glycol type systems, 50
3 percent are without, you know, with an integrated collector
4 and storage system.

5 Now, some of the cost drivers is -- probably the
6 main cost driver would be the equipment costs. Now,
7 typically, the collectors you see, you know, they include a
8 lot of aluminum, a lot of copper, a lot of heat transfer
9 elements, and with commodity costs, you know, those are --
10 that basically, mainly drives the cost.

11 Other things that could alleviate the cost are
12 State incentive programs and whatnot, which we have as a
13 pilot now, could become statewide.

14 Now, this is my cost trajectory. Now, there has
15 been some R&D funding applied to these technologies from the
16 DOE, with the goal of reducing the installed costs by about
17 50 percent.

18 As I touched on previously, there are systems in
19 Hawaii that you don't have to worry a lot about freeze
20 protection, and those are typically less expensive than the
21 ones we've been seeing in California.

22 Then there are other systems that are installed in
23 Oregon, under their incentive program, and those are
24 typically more. You know, those are typically more
25 expensive, they're about -- it's about a thousand dollars

1 per household system either way, warm climate a thousand
2 less, cold climate a thousand more than what we see on
3 average in California.

4 The goal of the R&D funding, and there are at
5 least a couple of manufacturers that have products from this
6 funding, but the goal is to reduce the cost, primarily to be
7 able to use plastics instead of copper or aluminum, as far
8 as your collector goes.

9 We haven't seen as of yet any of these collectors
10 installed under the San Diego hot water pilot program but,
11 like I say, there are a couple manufacturers that have the
12 products designed.

13 So I foresee the cost trajectory to be, you know,
14 pretty flat over the next few years. And as more lower cost
15 systems come in play, assuming the hot water incentive
16 program becomes a statewide incentive program, I'm
17 foreseeing in a few years the costs essentially drop for the
18 curve.

19 Okay, so that's it for our technology. I'm going
20 to open the floor to questions.

21 COMMISSIONER BYRON: Do you have any specific
22 questions, Commissioner?

23 COMMISSIONER BOYD: I don't think at this moment.

24 COMMISSIONER BYRON: You know, it's a very good
25 overview, a lot of detail around some promising and maybe

1 what seem to be esoteric generation techniques. I'm
2 reminded of some others as you're going through these
3 presentations as well, that I'm tempted to share with you
4 just to see if you've ever heard of them.

5 But it is informative, but I don't think either of
6 us -- maybe Commissioner Boyd may, but I don't have any
7 specific questions to ask you, but it's a good thorough
8 analysis, and it's exactly what we're looking for in this
9 kind of cost comparison or cost analysis here.

10 There may be questions from others in the audience
11 and if there's none specific on this topic -- I should ask
12 it positively, any questions?

13 And we're going to open it back up to general
14 comment again, is that correct, Ms. Green? Okay.

15 Commissioner Boyd, did you have any questions?

16 COMMISSIONER BOYD: No. No, thank you. But
17 thanks for the presentation, I've got lots of notes, but
18 they're not questions.

19 MR. O'DONNELL: Thank you Commissioners, thank
20 you.

21 COMMISSIONER BYRON: All right, well there's a
22 fair amount of time here for public discussion and comment.

23 Mr. Alvarado is coming up to the microphone to
24 lead that discussion, I take it.

25 MR. ALVARADO: Well, just break this open to any

1 comments. I see we have one taker.

2 MR. CAMPBELL: Matt Campbell, from SunPower,
3 again.

4 Commissioner Byron, I just wanted to respond to
5 your question, a very good question on land use and putting
6 the ground-based photovoltaics close to load or population
7 centers.

8 So what we see in California and in other states
9 is there is a big desire to do sort of small systems, say
10 500 kilowatts to a couple of megawatts close to load. I
11 think a lot of the --

12 COMMISSIONER BYRON: Was I in the ballpark on the
13 acreage for that sort of thing?

14 MR. CAMPBELL: Yeah, so the acreage is a
15 complicated question, it depends on the panel and it depends
16 on how closely you space them, and the spacing is
17 discretionary. So the further they're spaced out, the
18 higher the capacity factor. The closer you put them
19 together you lose some output, but you gain efficiency in
20 the land use.

21 So I'd say that it could be four acres per
22 megawatt for a good case, with a high efficiency panel. It
23 could be six acres per megawatt for more of a generic or
24 kind of a standard technology. But I'd say four to eight or
25 nine is a good range.

1 And so, well, I'll give you an example, we're
2 doing a ten-megawatt in Chicago right now, and that's right
3 in an urban area, it's on a brown field, and one of the
4 things that's common is a desire to site on brown fields or
5 landfills in the quasi-urban areas.

6 And in that case we fit ten megawatts on about
7 maybe 60 acres, but we really packed it in because the land
8 was constrained.

9 But we do see, in the case of people like water
10 districts, they may have unused land on the periphery of
11 their facility and that they -- you know, they need buffer
12 and so the buffer's not doing anything so they can put PV on
13 it.

14 So it is a concern, but we do see opportunities to
15 build it closer to load.

16 COMMISSIONER BYRON: Good.

17 MR. CAMPBELL: Thank you.

18 COMMISSIONER BYRON: Thank you.

19 MR. MURRAY: Hello, my name's Richard Murray, I am
20 a landscape architect from Monterey, and I am kind of a duck
21 out of water in a lot of the comments this morning, but this
22 afternoon has been much more close to where my concerns are.

23 I think that the way that I've gotten started in
24 this, I just wanted to try to put in a simple system on a
25 piece of land, when I could sell the electricity back to the

1 utilities and use the money for nonprofit activity.

2 COMMISSIONER BYRON: If it were only that simple,
3 huh?

4 MR. MURRAY: If it were only that simple? And so
5 I go there and I ask the question and they give me the
6 contract and the market price reference, and you go to
7 figure it out and, gee, it doesn't work. And so then you
8 start to get into it a little deeper and deeper, and so here
9 we are.

10 I think that the issue, in a couple ways, there is
11 just an amazing amount of built facilities in the State that
12 could be retrofitted for photovoltaics. Any time you fly
13 into any metropolitan area you see countless rooftops, flat,
14 nearly so, that are all available, you know, or could be, or
15 a lot of them could be.

16 It depends on the incentives to develop the
17 project and to develop the initiative for it.

18 There is countless amounts of people, similar to
19 myself, who have had photovoltaics for heat generating; the
20 last comments were on solar hot water and heating of air. I
21 put it in my house in 1980, in my office building in '85,
22 and heat the air as well as the hot water, and you find that
23 it's more cost effective in a residential unit than it is in
24 commercial, because in commercial you aren't using the hot
25 water effectively in the evening because that's when you

1 leave and go home, and the building doesn't need to stay
2 hot, it can cool off.

3 So you lose the heat therms that you generate in
4 the daytime that you could use in the evening at home in the
5 hot water, dishwasher, or the laundry, so it's not nearly as
6 effective in comparison with residential use, or at least
7 that's what we found.

8 The issue on photovoltaics, though, I think that
9 there is a great amount of people that would get a lot more
10 value out of trying to invest their savings or money, if
11 they knew they had a return of some kind on the product at
12 the end. You know, whether it's a retirement agency groups,
13 or teacher savings programs, or whatever, if there was a --
14 if you could invest it in the utilities, they would try to
15 use that money in a similar manner.

16 There is a lot of farmers that would put out their
17 lesser valuable acres into putting it into photovoltaics, if
18 they need that they had -- if they could make as much as
19 they make doing farming on it. And I'm quite sure that that
20 is easily documentable, it's just a matter of trying to
21 figure it out.

22 There's an awful lot of other areas where you
23 could wind up -- the more that energy is decentralized, the
24 less that you lose from transmission and we all know that
25 transmission is a big loss in all of our electrical systems,

1 wherever they are.

2 And with all of the new facilities that are being
3 generated, you have to go in with these large facilities,
4 put in new large transmission program or facilities for it,
5 and if you didn't have -- if you could set it up so there
6 was more smaller units spread across the State, you'd have a
7 less -- you could use the infrastructure that you already
8 have existing to more effective use.

9 And so those are some of the answers that I had on
10 that end.

11 I had another issue or in one of my things I got a
12 PUC Commission analysis for the last 32 years of history,
13 and prices of electricity has gone up 6.2, 7.1, and 8
14 percent, depending on whether it's residential or
15 commercial.

16 And I noticed that in the price marketing index we
17 are looking at something in the order of half again as much
18 increase for the market index for the next ten years is five
19 cents greater, and on the PUC's index it is 20 cents.

20 So it's -- there's a lot of areas where you could
21 wind up, I think, making a greater impact if you could
22 figure out the way of getting the general public to
23 participate more fully in the energy issue.

24 Thank you.

25 COMMISSIONER BYRON: Thank you, sir, and thank you

1 for being here today.

2 Be careful, you know, you get into this and you
3 might get hooked in terms of all the issues that we're
4 dealing with.

5 I'd like to particularly just address, briefly,
6 your -- I saw your letter to this Commission back in July, I
7 just saw it in the back of my binder here, with regard to
8 the photovoltaic project that you're interested in. And I'm
9 glad to see that you are interested in the feed-in tariff
10 issues that we are working on here in this Commission, and
11 at the State, and there's some legislation pending around
12 this.

13 But as you may have found through your studies,
14 there's a little bit of resistance in some of the service
15 territories of utilities in the State to feed-in tariff and
16 having generation that's in their service territories.

17 Also, you had mentioned the farmland and, of
18 course, if you're familiar with the Williamson Act, there
19 are laws that prevent farmland for being used for other
20 purposes than farming.

21 So we have a few impediments that we have to
22 overcome in order to enable you, and you said the many
23 others that are interested in doing these kinds of projects,
24 and we're trying to figure that out.

25 Did you want to comment on something else? You

1 started to get up like you were going to comment and I --
2 so, you know, my conclusion is thank you, and I hope you
3 will stay engaged and interested, and I hope you will
4 continue to work on these projects.

5 MR. MURRAY: Well, I'm a planter by profession and
6 so the farmland, the Williamson Act issue, it depends on
7 what you are claiming as being farming activity, and then
8 the product, the farming ability of the soil that's being
9 used.

10 And there's a variety of things that can influence
11 whether the land is actually good enough to do particular
12 farming on or whether it's subject to flooding, and in case
13 of certain crops, there's a whole group of ways of getting
14 around different issues.

15 COMMISSIONER BYRON: Thank you, sir.

16 COMMISSIONER BOYD: Yeah, thank you, Mr. Murray.
17 I'd seen your letter before and as indicated, we have it
18 here.

19 Also, I was going to say it to Commissioner Byron,
20 but he got the point that I believe you had a candidate to
21 sign your petition for feed-in tariff of Commissioner Byron.

22 COMMISSIONER BYRON: Well, of course, feed-in
23 tariffs have been put forward as a recommendation by this
24 Commission I believe long before I got here.

25 COMMISSIONER BOYD: True.

1 COMMISSIONER BYRON: So it certainly has been on
2 our radar screen for a while. But that's good and bad, I
3 suppose, we haven't made as much progress as we wanted to at
4 this point, but we are making progress.

5 COMMISSIONER BOYD: The Spanish haven't done us
6 any favors, I noticed.

7 MR. ALVARADO: Any other comments or questions
8 from the audience?

9 MS. GREEN: Commissioners, we don't have any
10 questions from the WebEx participants who are logged in, but
11 I would like to open the phone lines and give them a chance,
12 if the callers have any questions.

13 COMMISSIONER BYRON: So we're opening, we're
14 unmuting the phone lines, so if you're on a line and you
15 have a question or comment, now would be the time to speak
16 up.

17 MS. HARRIS-HICKS: May I speak up now.

18 COMMISSIONER BYRON: Please go ahead.

19 MS. HARRIS-HICKS: How do we -- how do we speak
20 up?

21 COMMISSIONER BOYD: We can hear you now.

22 COMMISSIONER BYRON: We can hear you. Please
23 identify yourself.

24 MS. HARRIS-HICKS: I'm Lynn Harris-Hicks and I'm
25 an advocate for a group called CREED, Coalition for

1 Responsible and Ethical Environmental Decisions, in Southern
2 California, and use as our liaison for different
3 organizations.

4 And I have been battering the COX (phonetic)
5 generators that they asked for on the -- but I'm not going
6 to try to go into all of that now, but I did want to comment
7 on one of the comments that was put in here, and that has to
8 do with --

9 (WebEx Interference.)

10 COMMISSIONER BYRON: Ms. Hicks, hang on one
11 moment. Would other people on the phone line please go on
12 mute. If you're going to speak in the background, because
13 all the lines are open, we need to ask you to mute your
14 phone.

15 Please go ahead, Ms. Hicks.

16 MS. HARRIS-HICKS: All right. We are requesting
17 that you use, as much as you can, the actual --

18 COMMISSIONER BYRON: You'll have to go ahead and
19 speak over that person.

20 MS. HARRIS-HICKS: What was that?

21 MS. GREEN: We're just going to mute everybody and
22 then we'll just -- mute everybody and then unmute Ms. Hicks.

23 COMMISSIONER BYRON: One moment, Ms. Hicks.

24 MS. GREEN: Go ahead, Ms. Hicks.

25 MS. HARRIS-HICKS: We would like to request that

1 you gather as many of the actuals of costs, as from our
2 experience record, from the history as you can, rather than
3 depending on the speculative aspects.

4 And our particular focus right now is on the
5 renewables and energy programs, efficiency program, which is
6 our State plan.

7 Because we are rather distressed that we have been
8 advocating the transition to renewables now, our
9 organization has for about 28, 29 years, and the State has
10 been making that transition, supposedly, for almost that
11 long. But our State action plan for energy has called for
12 the acquisition of the energy efficiency programs and the
13 energy from the renewables distributed, and I notice that
14 you're not using the word "distributed" and I think that's a
15 good idea because most people don't know what it means.

16 But designating the building and the community,
17 and the solar, and then some of the other renewables, too,
18 is very good, I think.

19 And I would like it if you could get your press
20 corp to send out news releases about some of these things
21 because people just don't know -- when I say people, I mean
22 the average person or organization, and so forth, really
23 don't have an access to all this wonderful information that
24 you've given out today, for example, so that's a request.

25 Now, the business about the actuals is important

1 because we have been, for a long time we were supporting the
2 San Diego Gas and Electric's Fast Track to Renewables, which
3 would have brought the renewables into our area by now,
4 because they were contracting for renewables at such a pace
5 that at the end of 2005, when the energy -- when the Energy
6 Commission -- or the California Public Utilities Commission
7 gave the blank check to Edison for the renewables down here
8 at San Onofre -- I don't mean that, I mean the nuclear down
9 here at San Onofre.

10 Told them that they could charge to the ratepayers
11 everything that they put in to the rebuilding of San Onofre.
12 Well, they changed that on San Diego Gas and Electric,
13 somebody did, and told them we had to have our share of this
14 pie and stop pushing to get the big steam generators, and
15 that's what it's been called, is replace some of the steam
16 generators.

17 And we misjudged Edison and that because we found
18 that that meant that they were just calling it steam
19 generation replacement when they were really replacing the
20 plant.

21 And we only found out, and I put things together
22 and found this out, the different parts of the puzzle, that
23 it's not a replacement of this, it's an end run around the
24 law that says we don't have anymore in California. It's the
25 way they proceed.

1 Because three years back, when the Nuclear
2 Regulatory Commission was having a public appearance telling
3 about the safety at San Onofre, and when we finished with
4 the session one of the head persons said, well, that's just
5 the way we do, and he's talking about the replacement.

6 And then there was an official, who spoke to a
7 group that was before our San Clemente Green here, and when
8 we asked him to tell us about what they were doing there and
9 why they're doing the rebuild things, and so forth, instead
10 of investing in the renewables and the solar, that we were
11 interested in, he said -- he explained to us that when they
12 have an outage, I guess that's about every 18 months, they
13 had an average for refueling, that they bring in a thousand
14 men and they put -- replace a thousand valves.

15 And I didn't connect it, I didn't connect it at
16 that time, but a couple of weeks ago I realized that nuclear
17 energy, generation of nuclear energy is so violent, is so
18 degrading, so destructive that we are looking at not a
19 matter of whether, and going through this that we're paying
20 twice for what we were promised for 40 years, but we're
21 looking at a situation where we are in continual
22 replacement, continual.

23 COMMISSIONER BYRON: Ms. Hicks, could I ask you if
24 you could bring to a conclusion the point you're trying to
25 make?

1 MS. HARRIS-HICKS: All right. I want you to
2 reassess, from the stand point of usage, take the cost of
3 building the plant and then you consider that 40 years in
4 your comparison. For the solar on my roof, I think they
5 would consider that one 20 years, because we haven't had the
6 experience, but we haven't had the experience with the
7 nuclear, either.

8 And so I think that this is the time to validate
9 your assessment, because you should be doing, as the leading
10 authority in our area has asked, the California Public
11 Utilities Commission, an independent audit of all of their
12 calculations, all of their expenditures, and so forth.

13 Because what we are looking at is a -- this cost
14 of war, when we talk about continual war, a constant war
15 economy, they are in a constant replacement economy.

16 And so it may have been that they replaced
17 everything on --

18 COMMISSIONER BYRON: Ms. Hicks, this is
19 Commissioner Byron.

20 MS. HARRIS-HICKS: What?

21 COMMISSIONER BYRON: Ms. Hicks, can you hear me?

22 MS. HARRIS-HICKS: Yes.

23 COMMISSIONER BYRON: I'm a little bit concerned
24 that you are maybe misunderstanding the purpose of our
25 workshop here today, and I can appreciate that you have some

1 concerns about the costs of the nuclear plant, San Onofre,
2 but that's really not what we're discussing here today.

3 So I'm going to go ahead and move onto the next
4 commenter at this point, unless you have something else you
5 want to add to the cost of generation.

6 MS. HARRIS-HICKS: Well, I'd just ask that you
7 revise your estimate of the various ones, not just there at
8 the solar, but all of them from the stand point of the
9 length of time that those expenditures are used. The length
10 of time would be variable.

11 And in this case we know that they had to replace
12 the rolls on the San Onofre containment there seven times on
13 the unit one. And you have the actuals because that unit
14 one is finished, now, and so you have the actuals on that,
15 and you have the actuals on Finland, where they're putting
16 in one of the new generation. You've chosen a west account
17 one thousand there, but I don't know what it is in Finland,
18 but it would be similar, probably.

19 COMMISSIONER BYRON: Okay, Ms. Hicks, thank you
20 very much for your comment. We're going to take your
21 comment and we're going to move onto the next one.

22 MS. HARRIS-HICKS: Thank you very much.

23 MS. GREEN: So we'd like to unmute the phone lines
24 again, to give the others an opportunity. Go ahead.

25 COMMISSIONER BYRON: Ms. Green, I'm not sure about

1 this unmuting. Is there a way we can ask them to raise
2 their hands on WebEx?

3 MS. GREEN: No, there's no way because they're
4 called in.

5 COMMISSIONER BYRON: I see.

6 MS. GREEN: And that's WebEx.

7 COMMISSIONER BYRON: I see. All right, last
8 chance for any of those who called in for public comments.

9 MS. GREEN: I think no one's speaking.

10 COMMISSIONER BYRON: All right, thank you very
11 much. You may mute them.

12 MR. ALVARADO: Well, in closing, I just want to
13 remind folks that we still have an open comment period, that
14 we will be receiving any comments to our work by five
15 o'clock, September 2nd. And any of these comments we do
16 receive will be considered for any further adjustments in
17 preparation of our final staff report.

18 COMMISSIONER BYRON: Do you have a date or a
19 deadline, did I miss it when you said it?

20 MR. ALVARADO: September 2nd, five o'clock that
21 night -- in the afternoon.

22 COMMISSIONER BYRON: Yes, we'd appreciate you
23 adhering to the comment period if at all possible, staff is
24 under a difficult deadline to try and complete all of their
25 work, not on just this topic, but all of the topics that

1 input to the Integrated Energy Policy Report, so I hope that
2 helps.

3 MR. ALVARADO: Same here.

4 COMMISSIONER BYRON: Anything else, Mr. Alvarado?

5 MR. ALVARADO: No, I think that's it. I think
6 this is just a summary of really a long effort that's been
7 going on for this past half-year, with some excellent
8 contributions by the project team.

9 COMMISSIONER BOYD: I just want to thank the
10 project team, as you labeled it, for the hard work. As I
11 said, this was extremely interesting reading. And when I
12 said laborious, I just meant very complex, technical, and
13 what have you, and a person had to read it carefully. I
14 didn't mean that it was an unwanted chore, let's say.

15 And I thank everybody for their testimony today;
16 this is proving to be, I think, quite helpful to us in
17 formulating the 2009 IEPR comments in this area.

18 COMMISSIONER BYRON: Thank you, Commissioner.

19 My read on all of this is I think the staff's done
20 a very good job of incorporating recommendations from
21 previous IEPR; a lot of effort has gone into being as
22 thorough and as accurate as we can in making comparative
23 costs for all these different generation technologies.

24 I notice the number of generation technologies
25 seems to keep getting bigger, not smaller.

1 But I'm also reminded, this is a catch up, we're
2 constantly trying to play catch up as technology emerges.
3 We've heard from commenters today how policies change,
4 opportunities for the technologies change, and trying to
5 keep up is very difficult.

6 I liked the comment, instead of doing this every
7 two years, let's do this continuously. Of course, but I
8 guess that does assume to some extent we have an unlimited
9 amount of staff and resources to be able to apply to these
10 issues.

11 I'm also reminded that the cost of generation
12 stuff, material has many different uses, it informs policy
13 makers, but as I can tell from the commenters here, today,
14 folks use it and interpret it in different ways. And fair
15 enough to say there's just different purposes in having
16 these absolute and relative comparisons on costs.

17 It's extremely helpful; it informs so much of what
18 we do in this State around energy policy.

19 As I was listening here today, I thought of a -- I
20 guess I jotted them down as random thoughts, but I hope
21 you'll see the connection that they really do come back to
22 the cost of generation.

23 I'm reminded that there's other factors that often
24 drive a project or a project being developed, not just cost.
25 And we've heard about some of those examples here, today.

1 I was struck by the one that Mr. O'Donnell
2 indicated, \$23 million per million BTU. I mean, who would
3 ever consider paying those kinds of costs? You know,
4 even -- there's even an electric rate chart published for
5 the space station, if you have projects that you're doing up
6 there.

7 The reality is that we're oftentimes willing to
8 pay more for things. My watch battery, I hate to think how
9 many tens of thousands of dollars of kilowatt hours that
10 cost is, but I'm certainly willing to pay for it.

11 But there are other factors that come into place,
12 social benefits, et cetera, that we need to factor into all
13 of this, and maybe that's why we're hung up on feed-in
14 tariffs.

15 COMMISSIONER BOYD: Don't get me going on watch
16 batteries. The one that comes with the watch might go eight
17 years; the next ones can't make it through a year before
18 your jeweler needs to replace it.

19 COMMISSIONER BYRON: Well, and so that energy
20 storage issue, I think is going to be probably the next area
21 that we're going to ask you to look into, because that's
22 what's going to begin to free up some of the renewables that
23 we're looking at, and increase the -- let's say the value of
24 the attributes associated with renewables.

25 The other is this notion of some projects being

1 affected by market risks and regulatory uncertainty. If
2 only generation technologies were selected on the basis of
3 costs, again, but they're not, there are environmental and
4 health impact issues.

5 And I would argue that these market risks that
6 came up earlier today aren't necessarily -- well, let's just
7 say I'd argue that they're really regulatory uncertainty,
8 that the more that, as policy makers, that we can provide
9 some certainty around this, issues like feed-in tariff,
10 again, I think we would see some of these generation
11 technologies move forward more.

12 And finally, Commissioner, I don't know if you
13 know this, but today marks the first day that this building
14 is on a new cooling and heating system. I understand that
15 our central plant converted last night, and this building
16 and 21 other buildings are being cooled and heated by a new
17 central plant, much more efficient, using a lot less water.

18 But unfortunately, a couple of years ago, we
19 couldn't convince them to put in combined heat and power.
20 Maybe if we'd had more accurate costing information, like
21 this, and presented it to the State at that time.

22 Actually, I know the problem; the problem is that
23 the capital costs is what kept that one back.

24 And so if you'll forgive all these little random
25 thoughts around this issue, cost of generation's extremely

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, an electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF,

I have hereunto set my hand this 14th day of September, 2009.

A handwritten signature in cursive script, reading "Barbara Little", written over a horizontal line.

Barbara Little