

**DOCKETED**

<b>Docket Number:</b>	21-ESR-01
<b>Project Title:</b>	Energy System Reliability
<b>TN #:</b>	248645
<b>Document Title:</b>	Steve Uhler Comments - VAR support and reliability
<b>Description:</b>	N/A
<b>Filer:</b>	System
<b>Organization:</b>	Steve Uhler
<b>Submitter Role:</b>	Other Interested Person
<b>Submission Date:</b>	2/2/2023 2:45:05 PM
<b>Docketed Date:</b>	2/2/2023

*Comment Received From: Steve Uhler  
Submitted On: 2/2/2023  
Docket Number: 21-ESR-01*

## **ESR-2021-01 VAR support and reliability**

ESR-2021-01 VAR support and reliability

When efficiency is improved, so is reliability.

Steve Uhler  
sau@wwmpd.com

*Additional submitted attachment is included below.*

ESR-2021-01 VAR support and reliability

When efficiency is improved, so is reliability.

Please extract the attached ZIP file to the directory this PDF file was downloaded to on your computer.

To view my comment move to subdirectory: ExhibitsVARsupport  
Then open this file: varSupport.htm

Steve Uhler  
sau@wwmpd.com