

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:)
) Docket No. 09-IEP-1C
Preparation of the 2009)
Integrated Energy Policy Report)
(2009 IEPR))

COMMITTEE WORKSHOP ON 2010-2020 REVISED DEMAND FORECAST
AND UNCOMMITTED ENERGY EFFICIENCY

CALIFORNIA ENERGY COMMISSION
FIRST FLOOR, HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

DOCKET	
09-IEP-1C	
DATE	<u>SEP 21 2009</u>
RECD.	<u>OCT 05 2009</u>

MONDAY, SEPTEMBER 21, 2009

10:00 A.M.

 ORIGINAL

Reported by:
Kent Odell

COMMISSIONERS PRESENT

Jeffrey D. Byron, Presiding Member, IEPR Committee

Laurie Ten Hope, His Advisor

James D. Boyd, Vice Chair and Associate Member,
IEPR Committee; Presiding Member Transportation and
Fuels Committee

STAFF PRESENT

Suzanne Korosec, IEPR Lead
Chris Kavalec
Malachi Weng-Gutierrez
Richard Aslin
Sue Mara
Michael Jaske
Tom Gorin
Arthur Canning
Andrea Horwatt
Rich Ferguson
Lynette Green (phonetic)
Tim Vonder (phonetic)
Nate Toyama (phonetic)
Michael Cockaigne (phonetic)

Via WebEx

I N D E X

3

Page

Introduction	
Suzanne Korosec, IEPR Lead	5
Opening Comments	
Commissioner Jeff Byron, Presiding Member of IEPR Committee	7
Vice Chair Jim Boyd, Associate Member of IEPR Committee and Presiding Member of Transportation Committee	8
Statewide Forecast Results for Electricity and Natural Gas	
Chris Kavalec, Demand Analysis Office	9
Staff Forecast Results for the Southern California Edison (SCE) Planning Area and Comparison to SCE's forecast	
Tom Gorin, Demand Analysis Office	43
SCE Comments/Response	53
Conservation/Efficiency and Self-Generation in the Staff Energy Demand Forecast	
Chris Kavalec, Demand Analysis Office	74
Staff Forecast Results for the Pacific Gas and Electric (PG&E) Planning Area and Comparison to PG&E's forecast	
Tom Gorin, Demand Analysis Office	102
PG&E's Comments/Response	108
Staff Forecast Results for the San Diego Gas and Electric (SDG&E) Planning Area and Comparison to SDG&E's forecast	
Tom Gorin, Demand Analysis Office	120
SDG&E Comments/Response	125

I N D E X (Continued)

4

Page

Staff Forecast Results for the Sacramento Municipal
Utility District (SMUD) Planning Area and Comparison
to SMUD's forecast

Tom Gorin, Demand Analysis Office

127

SMUD Comments/Response

131

Staff Forecast Results for the Los Angeles Department
of Water and Power (LADWP) Planning Area and
Comparison to LADWP's forecast

Tom Gorin, Demand Analysis Office

137

LADWP Comments/Response

Update on Uncommitted Forecast

Mike Jaske, Electricity Supply Analysis Division

143

Public Comments

150

Adjournment

159

Certificate of Reporter

160

1

P R O C E E D I N G S

1
2 SEPTEMBER 21, 2009

10:06 a.m.

3 MS. KOROSSEC: Good morning, everyone. I am
4 Suzanne Korosec. I lead the unit that produces the
5 Integrated Energy Policy Report, or IEPR. Welcome to
6 today's IEPR Committee Workshop on our staff's 2010-2020
7 Revised Demand Forecast. At an IEPR Workshop on June 26th,
8 the Energy Commission staff presented their preliminary
9 forecast on Electricity and End user Natural Gas assumption,
10 as well as peak electricity demand for each major utility
11 planning area in California. Based on comments received at
12 that workshop, the staff has prepared revised forecasts that
13 they will present today.

14 Our agenda today will begin with a presentation of
15 the statewide forecast results by Chris Kavalec, followed by
16 a presentation from Tom Gorin on the Southern California
17 Edison planning area -- this is a slight change to the
18 printed agenda to accommodate some time constraints --
19 followed by Edison's responses and comments on that staff
20 forecast. We will then hopefully break for lunch around
21 noon, and then resume at 1:15 with another presentation by
22 Mr. Kavalec on energy efficiency and self-generation demand
23 forecast, followed by the remaining utilities service area
24 forecasts. We will then finish up with an update from Dr.
25 Michael Jaske on the ongoing efforts to develop forecasts of

1 uncommitted energy efficiency impacts, and we will finally
2 have an opportunity for public comment at the end of the
3 day.

4 Just a few housekeeping items before we get
5 started. Restrooms are out in the atrium and to your left
6 as you go out the double doors, there is a snack room with
7 coffee and such on the second floor at the top of the
8 stairs, under the white awning, and if there is an emergency
9 and we need to evacuate the building, please follow the
10 staff out to the door to the park that is kitty corner from
11 the building and wait there until we are told that it is
12 safe to return.

13 Today's workshop is being broadcast through our
14 WebEx teleconferencing system, and parties need to be aware
15 that we are recording the workshop. We will make that
16 recording available on our website within a few days after
17 the workshop, and we will also provide a written transcript
18 once that is prepared, usually about two weeks after the
19 workshop date.

20 Those of you listening in on WebEx, if you have
21 questions, would you please send those to the WebEx
22 Coordinator and we will make sure that those get passed on
23 to the presenters. And during the public comment period at
24 the end of the day, we will hear first from people here in
25 the room, and then we will open up the lines for the WebEx

1 participants. For those of you in the room who want to make
2 comments, please come up to the center podium and use the
3 microphones so we can capture your comments accurately in
4 the transcript and, also, if you could give the Court
5 Reporter a business card when you come up to speak, it would
6 be very helpful to make sure that your name and affiliation
7 are spelled correct in the record. We are also asking
8 parties to submit written comments and those are due by 5:00
9 p.m. on Friday, October 2nd. We plan to release the first
10 draft of the IEPR at the end of this month in preparation
11 for an IEPR Committee hearing on October 14th. So, because
12 of the timing of that release and the timing of when written
13 comments are due for this subject, some of the material in
14 that draft IEPR will not reflect the comments that we have
15 heard today, but we will make sure to reflect those comments
16 in the final draft IEPR, which is scheduled to be released
17 in mid-November, in preparation for our December 2nd adoption
18 date. So with that, I will turn it over to the
19 Commissioners for opening comments.

20 COMMISSIONER BYRON: Thank you, Ms. Korosec. And
21 good morning to everyone. I would like to extend my Monday
22 morning welcome to all of you, thank you for being here. As
23 Ms. Korosec said, this is the Committee Workshop on the
24 California Energy Demand Forecast 2010-2020 and the Staff
25 Revised Forecasts. I was looking back in my notes and it

1 looks as though we met May 21st on this subject and also
2 June 26th in a Staff and Committee Workshop, respectively.
3 It seems like it was just yesterday. I will introduce my
4 fellow Commissioner on the Integrated Energy Policy Report
5 Committee, Vice Chairman Boyd, and ask, Commissioner, would
6 you like to say anything to open?

7 VICE CHAIR BOYD: Very little. First, I would
8 like to welcome the hearty few who are here to partake of
9 this subject which really, as all of us in the room know, I
10 am sure, is extremely critical with regard to the business
11 we are all in. Having an accurate forecast of electricity
12 and natural gas needs in the future drives an awful lot of
13 activity. So I look forward to what it is we learn today
14 and, just to let you know how important it is to us, who
15 ultimately have to oversee the production of the Integrated
16 Energy Policy Report. So with that, I would again extend a
17 welcome and thank you, Commissioner, for the chance to say a
18 few words.

19 COMMISSIONER BYRON: Thank you, Commissioner. I
20 am going to be very brief on my opening remarks, as well.
21 My sense is, based upon the input at meetings that we had
22 over the last couple of months, the staff has been extremely
23 responsive to the input we received on the draft forecasts.
24 We certainly are interested in the results today and
25 response to that from the various load serving entities.

1 You know, I noticed with the forecasts that we are doing, in
2 May I recall saying that the policymakers' view of energy
3 efficiency is a little bit different from that of customers
4 and, although we are doing a forecast, I want to emphasize
5 again that what our emphasis should be on is ultimately what
6 the customers are concerned about, and that is saving money,
7 and that is what good energy efficiency does. So I will
8 just put that out there, look forward to the results today
9 and in the feedback, and I did not want to forget to
10 introduce my Special Advisor who is here, as well today, Ms.
11 Laurie Ten Hope. Having said that, let's go ahead and pick
12 up on the agenda. Ms. Korosec, I will look forward to you
13 to make sure we have rearranged this correctly. I think I
14 have captured the order as you described it, but I believe
15 we are starting with Dr. Kavalec on the statewide forecast
16 results for electricity and natural gas?

17 MS. KOROSEC: Yes, that is correct.

18 COMMISSIONER BYRON: Okay.

19 MS. KOROSEC: All right, Chris?

20 DR. KAVALEC: Good morning, ladies and gentlemen.
21 We are presenting today the results for the California
22 Energy Demand, or CED, as we call it, Revised Forecast for
23 2009. The report is available online at this address; also
24 online on the same page are various forms that include all
25 kinds of output results for the different planning areas, as

1 well as specific results for efficiency and conservation.

2 Ms. Korosec has talked to you about the agenda today.

3 So first a summary of the results I am going to
4 talk about in this presentation. Electricity consumption is
5 reduced relative to the '07 forecast for the 2007 IEPR for
6 three reasons, the downturn in the economy, increased
7 efficiency impacts, and higher electricity rates. In this
8 forecast, we have slightly increasing electricity rates and
9 the '07 forecast rates were flat. The drop in peak
10 electricity demand is not as dramatic and that comes from
11 our assumption, or our projections, that there will be
12 continued migration inland in California, and increased
13 saturation of air-conditioners. But the forecast is
14 significantly up relative to the draft forecast we presented
15 in June.

16 A little bit for those not familiar with the way
17 that we forecast, a little bit about our methodology. We
18 forecast for eight different planning areas listed here.
19 Tom will present results for the five major planning areas,
20 that means PG&E, Edison, San Diego Gas & Electric, SMUD, and
21 LADWP. And we forecast using individual sector models for
22 the sectors listed here. The residential and commercial
23 models are full end use models. The industrial model is a
24 hybrid econometric and end use model. The agricultural
25 water pumping model is econometric. And the TCU and street

1 lighting model is a simple trend analysis.

2 Changes in the demand forecast versus 2007,
3 because of all the focus on residential lighting that was
4 broken out as a separate end use in the residential model.
5 It was already broken out separately in the commercial
6 model. Overall, we have increased our effort to capture the
7 impact of utility efficiency programs and, for the revised
8 forecasts, that includes publicly owned utilities that were
9 not updated for the draft forecasts. Given the economic
10 uncertainty prevailing today, and the impact that we all
11 know the economy has on electricity use, we did some
12 economic demographic scenarios in this forecast and, as I
13 mentioned earlier, electricity rates are slightly increasing
14 by around 15 percent between 2010 and 2020, compared to flat
15 rates in the '07 forecast.

16 In the draft forecasts, we ran three scenarios for
17 prices, a flat case, a mid-rate case, which is a 15 percent
18 increase, and a 30 percent increase. We did not have time
19 to run all the scenarios again for the revised forecasts
20 because we wanted to spend time on the economic demographic
21 scenarios. But we know roughly what the impact on demand
22 would be of a higher and lower rate relative to what we are
23 using based on the results for the draft forecasts. Flat
24 rates would reduce consumption in peak by around 1 percent,
25 compared to what we have. Flat rates would increase demand

1 by around 1 percent, and the 30 percent increase in rates
2 would reduce demand by a little bit over 1 percent.

3 So the big driver for the change versus the 2007
4 forecast, reduced economic growth, we get our economic
5 forecasts for our base case here from Economy.com. And real
6 personal income and total commercial floor space, two key
7 drivers in our forecast, are down by around 2.5 percent
8 compared to the '07 projections. However, these key
9 economic indicators are up relative to the draft forecasts,
10 as we will see in the next couple of slides. Now, we are
11 using, for this revised forecast, we are using June 2009
12 Economy.com data, whereas, in the draft forecasts, we used
13 December 2008 data, and projections for the economy have
14 gotten more optimistic in the interim.

15 Statewide personal income, you see the revised
16 forecast projections in the middle there in the dark blue,
17 lower than in the 2007 forecasts, but higher than in the
18 draft forecast. In fact, the growth for revised forecast
19 personal income is actually higher than in the '07 case
20 after the economic recovery, towards the end of the
21 forecasting period.

22 Commercial floor space well up relative to the
23 draft forecast, but still below the '07 forecast, and this
24 happens for two reasons, commercial floor space is based on
25 economic inputs, and the economic growth is up relative to

1 the draft forecast. Also, in the draft forecast, we used a
2 newer methodology to predict floor space, and this
3 methodology was leading to commercial output for commercial
4 electricity use. It seemed pretty low to us, so what we did
5 was to go back to the old methodology, and that is part of
6 the reason that floor space is up relative to the draft
7 forecast.

8 VICE CHAIR BOYD: Chris, I am kind of curious why
9 you considered using a new one and went back to the old one.
10 Has the old one been ground truthed over the years to be
11 pretty good? And, if so, why even consider a different one
12 unless you thought it could be even better?

13 DR. KAVALEC: That is why.

14 VICE CHAIR BOYD: Okay.

15 DR. KAVALEC: We liked what we had before, but we
16 had this new model that was fancy based on the latest
17 econometric techniques, and that is why we gave it a try.

18 VICE CHAIR BOYD: Thanks.

19 DR. KAVALEC: Okay, finally, some results for
20 consumption. Now, when I compare to the draft forecast, I
21 am comparing to the midrate case because that is the rates
22 we are using for the revised forecast. We have a short-term
23 drop-off and slightly lower long-term growth relative to the
24 '07 forecast, although the rate of growth of the revised
25 forecast would be as high as in the '07 forecast if it were

1 not for the additional efficiency impacts and the effects
2 of the rate increase. Consumption per capita is still
3 declining after the recovery from the current recession, but
4 the decline is not as dramatic as it was in the Draft
5 Forecast, so the economy is not cooperating as fully with us
6 in our desire to reduce per capita consumption.

7 The Statewide Peak, this is a non-coincident peak,
8 meaning it is summing up the individual planning area peaks,
9 which may occur at different times of the day. Again, the
10 peak relative to 2007 forecast, there is less difference
11 compared to consumption, and that is because of migration
12 inland, more air-conditioning. The peak for the revised is
13 closer to the draft forecast and its consumption, and there
14 is less difference, and that is because we had adjusted the
15 draft forecast peak upward based on earlier indicators of
16 peak in 2009. And if we had not made that adjustment, there
17 would be much more of a difference. It would look more like
18 the difference in consumption. The rate of growth in
19 consumption or peak for the revised forecast would actually
20 exceed that in the '07 forecast, were it not for the rate
21 increase in our assumptions about additional photovoltaic
22 self-generation during the forecast.

23 Peak electricity per capita, the same basic story
24 as for consumption, although by the very end of the forecast
25 period, it begins to increase ever so slightly -- again, the

1 dark blue in the middle there. The numbers to go along
2 with these graphs, as I mentioned, consumption down by more
3 than peak, and the economy is responsible for most of the
4 difference between the revised forecast and the '07
5 forecast. And let us see how responsible -- this pie chart
6 shows the sources of reduced consumption relative to the '07
7 forecast in 2010, the economy being responsible for over
8 half of the difference, utility programs around 40 percent.
9 You see that small yellow slice, that is Additional
10 Standards impacts that were not in the '07 forecast, and
11 that means commercial lighting standards and residential
12 refrigerator standards. And there is a tiny invisible slice
13 there, referred to as Lighting Savings, and I will explain
14 what that is all about when I do my presentation on
15 efficiency a little bit later.

16 By the time we get to 2018, the economy is still
17 responsible for a little bit more than half. The effect
18 from utility programs has decreased from 40 percent to
19 around 11 percent. The reason for that is we do not include
20 any utility programs, new utility programs, beyond the year
21 2011. In our forecast, we only consider committed
22 efficiency programs, and "committed" means either already
23 implemented, or for which there is firm funding and a
24 specific program plan we can work with. So, in other words,
25 after 2011, there were no more new utility programs, and

1 vendor savings begin to decay, and we are reduced from 42
2 percent to 11 percent. At the bottom there, the light blue,
3 Additional Price Effects make an appearance. That is coming
4 from the rate increase that begins in the year 2010.

5 The next two slides are basically meant to show
6 where also the difference between the '07 forecast and the
7 revised forecast is coming from. It is coming in the
8 residential and commercial sectors. The top two lines there
9 indicate the difference in commercial forecasts between '07
10 and now, and the next two lines show the difference in
11 residential. I did not put in any other sectors there
12 because I did not want to make the graph too busy, but you
13 would see a much smaller difference than you do with
14 residential and commercial, at least at the statewide level,
15 that is not necessarily true with planning area level, as
16 Tom Gorin will show later. Same story in the peak case,
17 most of the action is in the residential and commercial
18 sector, although there is less difference in residential and
19 commercial peaks than there were for consumption.

20 Some more numbers. Residential consumption down
21 by more than commercial consumption, however, residential
22 peak is down less than commercial peak, and that comes from,
23 again, from our assumption of migration inland by households
24 and more air-conditioning. So, as I said, given our
25 uncertain economic world, we thought it would be prudent to

1 look at alternative economic scenarios in this forecast,
2 and for those alternatives, we chose two cases, a global
3 insight optimistic case, higher economic growth, and in
4 Economy.com "aborted recovery," or a pessimistic case, which
5 is just what it sounds like, a longer lasting recession and
6 then less growth afterwards. The reason we chose these two
7 scenarios is that, among all the scenarios offered by the
8 two companies, in general, these showed the highest and
9 lowest rates of growth. So we thought it was a good range
10 to use. And these scenarios differ based on assumptions
11 about the impact of the stimulus package, projected business
12 investment, consumer demand, and so on. In the report, the
13 appendix gives a more detailed description of the difference
14 between the two. And fortunately, these two scenarios
15 provide California-specific projections, so we can do
16 economic scenarios for the state, and California-specific
17 projections are available for a whole host of variables,
18 like employment output by sector, income, industrial output,
19 and so on.

20 So here is a look at change in a couple of
21 economic indicators between the optimistic and pessimistic
22 scenarios, on a base case. Employment, roughly 4 percent
23 higher or lower than the Economy.com base case in the year
24 2020. Statewide personal income, a little bit more severe
25 on the downside, 8 percent lower by 2020, 5 percent higher

1 in the optimistic case by 2020.

2 So we did not have time between the preliminary
3 forecast, the draft forecast, and the revised forecast, to
4 make two full runs with our full slate of models, so what we
5 did was to estimate reduced form econometric models by
6 planning area for the three major sectors, residential,
7 commercial, and industrial. The appendix provides all the
8 details about the variables included in the econometric
9 progressions, but, for example, residential is a function of
10 persons per household, income per household, weather
11 variables, average residential rates, and so on. Commercial
12 is a function of floor space, employment, weather, average
13 commercial rates, etc. And the industrial version, I did a
14 little bit differently; the dominant force in industrial
15 energy use over the last 30 years has been a decline in
16 energy use per dollar, coming from processes in efficiencies
17 in the industrial world that are beyond the scope of a
18 simple econometric model. So what I did was to take that
19 trend as given, investigate whether economic variables had
20 any impact on that trend, and the forecast results match
21 relatively closely with the revised forecast.

22 So this next graph compares the econometric models
23 using the same economic demographic inputs as in our revised
24 forecast. And it predicts a little bit more on the downside
25 at the beginning of the forecast period, but, by 2020, the

1 difference between the two forecasts is less than one-tenth
2 of 1 percent. So this means either that our end use models
3 are doing a reasonable job because the different methodology
4 used the same results, or it means that I have estimated a
5 model just as crummy as our end use models, one of the two.

6 Okay, the way we did these economic scenarios is
7 we ran the economic models for the "base case", economic
8 inputs on the two alternative scenarios, and then applied
9 the percentage difference between the alternative scenarios
10 and the base case to our revised forecast. And we estimated
11 peak demand by applying load factors at the planning area
12 and sector level to consumption results.

13 So here is what the scenarios look like at the
14 statewide level in terms of consumption, roughly 2 percent
15 higher or lower by 2020, relative to the base case, the
16 revised forecast. On the peak side, a little bit more of a
17 difference on the downside because, remember, I showed you a
18 graph where personal income -- the reduction in personal
19 income was much higher in the pessimistic case versus the
20 increase in the optimistic case. And this affects
21 residential consumption, personal income, more than it does
22 the other sectors. And residential consumption, we know, is
23 peak year, so there is more of an impact on peak.

24 We did these scenarios for each of the planning
25 areas and the results were similar in terms of the

1 difference by 2020, around 2 to 2.5 percent up or down for
2 each scenario. Some numbers to go along with those graphs,
3 and the largest change is by sector, the industrial in the
4 case of the optimistic scenario changed the most.
5 Residential changed the most in the pessimistic scenario
6 because of the big drop in personal income. And as you
7 noticed, the difference in the scenarios relative to the
8 base case is not huge, only around 2 percent up or down.
9 And this is a reflection of a relatively narrow spread among
10 the economic scenarios. I showed you personal income and
11 employment differences among the scenarios. For a lot of
12 other variables, the differences are much smaller. For
13 example, retail employment is only up or down 2 percent in
14 the alternative scenarios relative to the base case. And in
15 the pessimistic case, industrial output actually reaches the
16 same level as in the base case by the end of the forecast
17 period. And I think what has happened here is there has
18 been sort of a convergence in economic forecasts over the
19 last few months, at least for these two companies, Global
20 Insight and Economy.com. So they are not predicting even in
21 their scenarios any more of a total crash of the economy, or
22 a huge dramatic increase in the economy. And economic
23 forecasters tend to be fairly conservative. They want all
24 of us to go out there and predict a large change in the
25 economy because, if it does not happen, it is not good for

1 your reputation.

2 So if these scenarios are reasonable, and if I did
3 a reasonable job with the econometric models, then this is
4 telling us that we should not expect a huge change, a huge
5 variation relative to our base case forecast, in the next 10
6 years; however, of course, if there is a crash of the
7 economy, or we have a new bubble coming up, and all bets are
8 off, and economists, as we know, are very good at predicting
9 bubbles after they happen, but they are not predicted yet.

10 We also do, in conjunction with our electric
11 forecast, we do a natural gas forecast for these three
12 planning areas, PG&E, Southern California Gas, and San Diego
13 Gas and Electric, and another that we call "other" which is
14 a very tiny slice. And this is an end user forecast, it
15 does not include natural gas use for generation. What we do
16 is develop this end user natural gas forecast, and the
17 Natural Gas Office combines that with their generation
18 forecast to provide a statewide forecast for natural gas.
19 And, as in the electricity case, we assume mid-rate natural
20 gas prices from the draft forecast. That means specifically
21 a 10 percent increase in rates between 2010 and 2020. The
22 '07 forecast assumed a higher increase in natural gas
23 prices, around a 30 percent increase between 2010 and 2020.
24 So this graph shows natural gas demand broken out in
25 Northern California and Southern California, Northern

1 California meaning PG&E and Southern California and the
2 rest. And the story here is a drop in 2008 consumption
3 relative to what was predicted in previous forecasts, so you
4 notice the dark blue line which is the revised forecast is,
5 at least in the beginning of the forecast period below the
6 other two forecasts. And the reason for that is recorded
7 consumption in 2008, which we use for the revised forecast,
8 is a lot lower than had been predicted in our previous
9 forecasts. And this is a function mainly of the recession.
10 Remember, the official starting point of the recession, I
11 think now is early 2008. But the growth rate after the
12 initial downturn is higher than in the previous two
13 forecasts. Compared to the draft forecast, the growth rate
14 is higher because economic growth is up. And relative to
15 the '07 forecast, the growth rate is higher because we are
16 using lower rates, and also because, for natural gas, we are
17 not adding any additional efficiency impacts like we do in
18 the electricity case.

19 Some additional analysis provided in the appendix
20 to the report. We looked at the performance of our
21 forecasting models two ways, we looked at back casts
22 provided by the models versus actual history; and we looked
23 at previously forecasts going back to 1990 versus what
24 consumption actually was subsequently. And as is the case
25 with any forecasting model, the results are sort of mixed.

1 We generally get the longer term trends right, but miss
2 some of the short term changes. We also did some scenarios
3 looking at the impact of climate change on peak electricity
4 demand in terms of increasing annual maximum temperatures.
5 We already make an adjustment to our forecast to attempt to
6 account for climate change by adjusting the amount of
7 cooling and heating in the forecast, based on the ratio of
8 heating degree days and cooling degree days in the last 12
9 years versus the last 30 years. This is meant to account
10 for general warming. But we thought it would be useful to
11 look specifically at the impacts of potentially increasing
12 maximum temperatures on peak demand because there was
13 scenario data available to do this from the Scripps
14 Institute of Oceanography. And they provided us -- they
15 have 12 different scenarios they recently put together for
16 California. This was work they did for the Commission
17 earlier this year. So of those 12 scenarios, they provided
18 us the scenarios that led to the highest increase, projected
19 increase, and maximum temperatures between now and 2020, and
20 the lowest increase among the 12 scenarios. And the high
21 scenario looked like this. These are very disaggregated
22 projections they provide for California, so we were able to
23 match them to our planning areas, and the amount of
24 temperature increase depends on the planning area, but
25 overall, in the highest scenario, annual maximum

1 temperatures rose by between 3 and 5 degrees relative to
2 average historical maximums, and in the low scenario, they
3 varied by between -.4 degrees plus 2 degrees, and that means
4 that, in the low temperature scenario, some areas of
5 California were actually cooler. Specifically for us, in
6 terms of planning areas, that means the SDG&E planning area
7 actually had lower maximum temperatures by 2020 compared to
8 historical levels.

9 So the results of this scenario analysis we did
10 show an increase in statewide peak of between 1.5 and 2.2
11 percent for the high temperature increase scenario, and by
12 between -- that is actually a typo there -- it should be -.2
13 percent up to +1 percent increase in peak in the low
14 temperature scenario. The negative value because, again,
15 the SDG&E planning area has lower temperatures in the low
16 scenario. And I want to thank the folks at Scripps for
17 providing us this data. And, as I said, we already make an
18 adjustment in the forecast using a ratio of cooling days,
19 recent cooling days versus 30 years of cooling, averages of
20 cooling days, but that is sort of a blunt instrument. So
21 you can think of this as our beginning to refine our
22 approach to incorporating climate change in the forecast.

23 These are some additional slides that were not
24 part of the original package, but are provided outside in
25 the lobby, and I believe the Committee has an updated set

1 that includes these additional slides. And the deal with
2 an electric vehicle forecast, the last couple of weeks or
3 so, I have been moonlighting as a transportation forecaster,
4 attempting to assist the Fuels Office staff get their
5 vehicle choice model going, to crank out an electric vehicle
6 forecast, and the reason it took a while is because they
7 recently finished a large scale survey, statewide survey
8 designed to measure California's inclinations towards
9 vehicle choice inclinations, and in this survey, they
10 incorporated additional fuel types that were not previously
11 part of the model, like ethanol and plug-in hybrids, and so
12 that made the model more complicated, and therefore it took
13 a while for it to get going. But thanks to the diligence of
14 the Fuels Office staff, the model is up and running. So
15 what I am going to provide today is a preliminary forecast
16 for electric vehicle consumption, and this is, of course,
17 subject to finalization by the Transportation folks,
18 together with the Fuels Committee. But I think the end
19 results will look roughly like what I am going to show you
20 today.

21 Okay, the vehicle choice model in question is
22 called the Calcars model. It is a vehicle choice quantity
23 model, meaning that it predicts choice among different types
24 of vehicles, and the number of vehicles a household is going
25 to own, and it does this at the household level, using

1 roughly 75 simulated households that are meant to represent
2 different segments of the California household population.
3 So, for example, one segment might be a household with two
4 members, one of whom is employed and whose income is between
5 \$50,000 and \$75,000. And these simulations at the household
6 level are blown up to a statewide forecast by factoring up
7 the results for the individual segments based on how many of
8 those households exist, those types of households actually
9 exist in California. Households choose among various fuel
10 types, including conventional gasoline, and they can choose
11 two types of electric vehicles, a dedicated electric vehicle
12 meaning it runs solely on electric motor, and a plug-in
13 hybrid, and that is a vehicle that, in case you do not know,
14 has both an electric motor and a gasoline motor, and the
15 idea behind the plug-in hybrid is that you would use the
16 electric motor for the stop and go type driving, city
17 driving, and you would use the gasoline motor for higher
18 speed driving. And, of course, when your electricity runs
19 out, your vehicle would use gasoline.

20 And the choice is based on vehicle and household
21 characteristics, your choice of vehicle. Vehicle
22 characteristics include things like purchase price of the
23 vehicle, fuel efficiency of the vehicle, horsepower, and so
24 on. And household characteristics mean things like number
25 of members in the household and income. And also, the model

1 estimates vehicle miles traveled and fuel use for each
2 vehicle, and therefore that can give us a forecast for
3 electric vehicle consumption. Critical input to the model
4 is projected vehicle characteristics, that is, how much a
5 plug-in hybrid is going to cost in the future, what the fuel
6 efficiency of a natural gas vehicle is going to be, and so
7 on. And that comes to us from our expert automotive
8 consultant, K.G. DuLieb, who has been doing this for us for
9 a long time, since the early '90s, and as far as I know, he
10 is the only person that does this, so he is both the best
11 and the worst at it.

12 What I am going to show you are two scenarios.
13 The first scenario includes relatively high gasoline prices
14 going from today's level to around \$4.50 a gallon by the end
15 of the forecast period, with low alternative fuel prices,
16 and then the second case would be low gasoline prices,
17 prices would stay at roughly today's level throughout the
18 forecast period, and higher alternative fuel prices. These
19 two scenarios are meant to encompass a range for alternative
20 fuel vehicles.

21 A couple things about electric vehicles that are
22 assumed in the model. Each fuel type can have a maximum of
23 15 classes, a class means something like a subcompact car,
24 minivan, and large sport utility vehicle. So there is a
25 maximum of 15, and by the end of the forecast period, plug-

1 in hybrids have representation in 12 of those classes and
2 dedicated electric vehicles in 11. Electricity costs in the
3 high alternative fuel price case is \$.13 a Kilowatt hour,
4 and then in the low alternative fuel price case, it is \$.6 a
5 Kilowatt hour. The average purchase price, taking the
6 average for both plug-in hybrids and dedicated electric
7 vehicles is around \$6,000 higher than gasoline. The average
8 range for dedicated electric vehicles is around 85 miles
9 with an average efficiency of two miles per Kilowatt hour,
10 and that translates to around 70 miles per gasoline
11 equivalent gallon. And the plug-in hybrids, on average,
12 because of the electric motor, the portion of time spent
13 operating the electric motor are on average 60 percent more
14 fuel efficient than gasoline vehicles. And, in general, it
15 was clear from the survey that respondents looked very
16 favorably on the plug-in hybrids, but were not so crazy
17 about the dedicated electric vehicles because of the limited
18 range and the limited opportunities for refueling.

19 COMMISSIONER BYRON: Dr. Kavalec, does the 44 mpg
20 at the end of the last bullet -- is that parenthetical for
21 the assumed fuel efficiency of gasoline? Or the PHEV?

22 DR. KAVALEC: Oh, I am sorry, that 44 is for the
23 PHEV's, for the plug-ins, and the 27 is the average for
24 gasoline.

25 Okay, that brings us to the forecast first for

1 projected number of electric vehicles on the road, the
2 majority of which are plug-in hybrids; in fact, 95 percent
3 of the total here is plug-in hybrids, reflecting preferences
4 of survey respondents and their general favorable view
5 towards plug-ins. So, by 2020, we have in the low
6 alternative fuel price case around 1.6 million on the road,
7 and in the high alternative fuel price case, 1.4 million.

8 And here we have our forecast, around 4,700
9 Gigawatt hours of consumption in the low alternative fuel
10 price case by 2020, and just over 4,000 in the high
11 alternative fuel price case. That 4,700 represents around
12 1.5 percent increase in the total consumption in the state.
13 A crucial assumption being made here is that, for plug-in
14 hybrids, they are assumed to operate 50 percent of the time
15 on the electric motor, and 50 percent on gasoline. And that
16 comes from the concept of the electric motor operating
17 during city driving, and the gasoline motor operating during
18 the highway times, and the split between those two types of
19 driving is roughly 50/50, so that is where that assumption
20 comes from. Okay, so that is a preliminary electric vehicle
21 forecast, and once this is finalized, if that happens in a
22 relatively short period of time, we will add this into our
23 electric forecast.

24 Okay, so those are the statewide results and, with
25 that, I will take any questions or comments.

1 COMMISSIONER BYRON: Commissioner?

2 VICE CHAIR BOYD: On the section you just finished
3 on electric vehicles, the cost range between \$.13 and \$.6 a
4 kilowatt hour, am I correct in assuming the \$.6 is
5 predicated on some new tariffs being established for off-
6 peak charging, or what have you, for electric vehicles?

7 DR. KAVALEC: Do you want to give that a try?
8 This is Malachi Weng Gutierrez from the Fuels Office.

9 MR. WENG GUTIERREZ: Good morning. The \$.6 value
10 is actually a current rate that is primarily all off peak,
11 and it was the selection of a single utility's rate to
12 represent the lowest number that we could kind of identify.
13 It was PG&E's off rate without meter charge included, and
14 assuming no other electricity consumption.

15 VICE CHAIR BOYD: Okay, thank you. No other
16 questions.

17 COMMISSIONER BYRON: Yeah, I would go so far as to
18 say I think that may be a little bit low, but there are a
19 lot of assumptions involved in this sort of thing. A couple
20 of other quick questions, if I may, Dr. Kavalec. Going back
21 to, let's see, to your Slide 9, first of all, I suppose a
22 comment. What a difference we are seeing in the forecast as
23 a result of revised economic forecasts from Economy.com. I
24 think it obviously indicates that our forecasting ability is
25 highly susceptible to the economic assumptions that we make

1 early on. I was struck by the floor space comparison. *The*
2 *Economist* magazine is not nearly as bullish on the recovery
3 of commercial floor space, I think, as this forecast would
4 indicate.

5 DR. KAVALEC: Yeah, I read that.

6 COMMISSIONER BYRON: And so, believe me, I am very
7 encouraged to see that our staff is buying into an improved
8 economic recovery here, but I think my comment still stands.
9 It certainly is susceptible to these assumptions. Let's
10 jump ahead to your Slide 30. Does the end user natural gas
11 forecast -- is it impacted by the penetration of renewables
12 in the electricity sector?

13 DR. KAVALEC: It is influenced by -- no, not
14 directly, is the answer to that question. But there is
15 competition among fuels that takes place in our commercial
16 model, depending on the respective prices.

17 COMMISSIONER BYRON: So whether or not we are
18 going to a 33 percent renewable case in 2020, in the
19 electric sector, is not going to really impact this
20 forecast, this natural gas forecast?

21 DR. KAVALEC: Not unless it affects natural gas
22 prices.

23 COMMISSIONER BYRON: Does someone want to make a
24 comment on that? Okay. I would certainly like to open it
25 up if that is okay, if there are any other questions from

1 others present with regard to the presentation.

2 VICE CHAIR BOYD: Commissioner, can I go back to
3 one chart, I forgot? Going back to Chart 11, I did have a
4 -- Chris, you used the term in describing what is going on
5 there as [quote] "the economy is not cooperating," and this
6 of course is consumption per capita. Can you elaborate a
7 tiny little bit on that?

8 DR. KAVALEC: Oh, that was just a throw-away joke.

9 VICE CHAIR BOYD: I can make a bigger joke out of
10 it and say, "What is this? The impact on flies on TV
11 screens?" But never mind.

12 DR. KAVALEC: Well, yeah, the decline itself is a
13 function of increasing efficiency and increasing rates. But
14 because of improved economic conditions, the decline is not
15 nearly as severe as it was in the draft forecast.

16 VICE CHAIR BOYD: Meaning we will keep powering up
17 all those goodies, and drawing more --

18 DR. KAVALEC: All our new toys.

19 COMMISSIONER BYRON: I think the only other
20 comment I would make, and if there are any other questions
21 from our participants, they are welcome, would be back on
22 the electric vehicles section. As I look at your low and
23 high penetration cases, there is really only about a one-
24 year lag between the low and the high case. Isn't that
25 correct?

1 DR. KAVALEC: Uh, yes.

2 COMMISSIONER BYRON: So that is a pretty narrow
3 bend. I am not sure -- maybe your earlier comment about
4 economists unwilling to stick their neck out might apply
5 here. I would expect there to be a little bit wider spread
6 in terms of the low and high cases there.

7 DR. KAVALEC: I would say that does not happen
8 because conventional gasoline is still going to be the
9 dominant vehicle in the year 2020, that is what most people
10 are buying.

11 COMMISSIONER BYRON: So it is not having much of
12 an impact.

13 DR. KAVALEC: Yeah, you are not going to get a
14 huge shift to electric vehicles.

15 COMMISSIONER BYRON: I agree. Will you accept any
16 other questions or comments?

17 DR. KAVALEC: Sure.

18 MS. TRELUV (phonetic): My name is Cathy Treluv
19 (phonetic) and I am from PG&E, and I just had a clarification
20 question. Could you say again when we will see the electric
21 part of the natural gas forecast, the electric generation
22 part? It sounded like your end use piece would be combined
23 with electric, and that would be published when?

24 DR. KAVALEC: Tom, do you have any sense of when?

25 MS. TRELUV: Oh, in the Cal Gas Report, okay.

1 Yeah, I also do not know when that comes out, but it is
2 every two years, right? So, sometime soon?

3 DR. KAVALEC: It is out.

4 MS. TRELUV: Oh, good.

5 COMMISSIONER BYRON: Is the Cal Gas Report out?
6 Tom, if you have the answer, you can approach the
7 microphone.

8 DR. KAVALEC: It is out. There is a copy sitting
9 on my desk, so apparently it is out.

10 MS. TRELUV: I think we all have someone who knows
11 in each of our organizations, so I just --

12 MR. ASLIN: Hello, my name is Richard Aslin and I
13 also work for Pacific Gas & Electric Company. So I just
14 wanted to make sure I was clear on this. So, the Energy
15 Commission's natural gas forecast does not include the
16 forecast for natural gas used in electric generation?

17 DR. KAVALEC: Right.

18 MR. ASLIN: And there is no intention to include
19 that at any time in the future?

20 DR. KAVALEC: Not in our forecast. We do a PIER
21 demand-side forecast.

22 MR. ASLIN: Okay, well, there is a California Gas
23 Report that comes out every other year, and every other year
24 is a forecast year, and then the in-between years are just
25 an update for recorded data, and then any other sort of

1 incidentals. So the next full forecast will be July of
2 2010 for the natural gas. As long as I am here, I had a
3 couple of other questions.

4 COMMISSIONER BYRON: Sure. That is that colluding
5 report that the IOU's put together every couple of years,
6 right?

7 MR. ASLIN: Cooperative.

8 COMMISSIONER BYRON: I mean "concluding" report.

9 MR. ASLIN: Chris, I had a couple of questions on
10 your presentation. One thing was, I wanted to understand
11 and make sure I am clear on this. The 15 percent increase
12 in the electric rates, that is a 15 percent increase in real
13 electric rates?

14 DR. KAVALEC: Yes.

15 MR. ASLIN: Okay. So just go with me on this one,
16 if I assume a 3 percent inflation rate per year for the next
17 10 years, that is going to yield approximately a 35 percent
18 increase in nominal rates, and then I need to add the 15
19 percent on top of that. So in nominal terms, that would be
20 a 50 percent increase in electric rates.

21 DR. KAVALEC: Assuming a 3 percent inflation rate,
22 yeah.

23 MR. ASLIN: Okay, I just wanted to make sure
24 everybody understands it is not a 15 percent increase in
25 electric rates, it is actually something that is going to be

1 closer to like a 50 percent increase in electric rates. So
2 if PG&E's average electric rates are \$.15 per Kilowatt hour
3 now, then in 2020, they would be, you know, over \$.21 per
4 Kilowatt hour. I think, historically, actually, if you look
5 back in the history, there has been only one brief period of
6 time where electric rates on average have increased faster
7 than the rate of inflation. For the most part, they have
8 actually increased less than the rate of general inflation.
9 Yeah, I also wanted to make sure -- first of all, thanks
10 very much for looking into the climate change situation
11 because I think that is very important, and I am wondering,
12 is there an intent to incorporate that into the final
13 forecast?

14 DR. KAVALEC: No, what Scripps provided, they do
15 not call -- they are careful to not call it a forecast --
16 they call it plausible scenarios for changes in climate. So
17 what we are going to do after this forecast is take some
18 time and look at the way that we incorporate climate change,
19 and potentially incorporate temperatures. But that is going
20 to take a while, so it is not going to be ready for this
21 version of the forecast. But, like I said, there is still
22 that adjustment being made for cooling degree days, and
23 heating degree days, already in the forecast.

24 MR. ASLIN: Okay, and if I understood that
25 correctly, so what you do is you take the ratio of a more

1 recent period, 12 years?

2 DR. KAVALEC: Right.

3 MR. ASLIN: And then you compare that to the
4 longer historic period which was 55 years, or something like
5 that?

6 DR. KAVALEC: Thirty years.

7 MR. ASLIN: Thirty years, okay. All right, and
8 then, but on the electric vehicles forecast that you were
9 showing there, the intent is to incorporate that into the
10 final version?

11 DR. KAVALEC: Yeah, assuming that it gets
12 finalized in time.

13 MR. ASLIN: Okay, because the two of those things
14 together, if I understood that correctly, the electric
15 vehicles forecast would increase the energy consumption in
16 2020 by approximately 1.5 percent?

17 DR. KAVALEC: Right.

18 MR. ASLIN: And the climate change scenario could
19 have an equal effect, around 1.5 percent, so are you talking
20 about a 3 percent difference in the forecast in 2020 just by
21 incorporating these two elements?

22 DR. KAVALEC: Yeah, although that, 1) that is the
23 high temperature scenario, so it is much lower in the low
24 case. And what we already incorporated in the forecast
25 gives us, in effect, an adjustment that is already between

1 those two, although it is closer to the lower side.

2 MR. ASLIN: Okay, so it would be a more limited
3 adjustment?

4 DR. KVALEC: Right.

5 MR. ASLIN: And I will probably have some
6 questions later. You are going to talk about the energy
7 efficiency -- review efficiency later?

8 DR. KVALEC: Yes.

9 MR. ASLIN: Okay, so I might have some questions
10 on that, as well. Thanks very much.

11 COMMISSIONER BYRON: Thank you. Any other
12 questions or comments on this presentation?

13 MS. MARIN: Hi, Commissioners Byron and Boyd. My
14 name is Sue Marin and I am here representing the Alliance
15 for Retail Energy. Boy, my brain just went dead -- energy
16 marketers. And we are an organization of electric service
17 providers that serve retail customers within the three IOU
18 service territories. And I am not here so much commenting
19 on this presentation, but it is a request for something to
20 be done in the future, and we have submitted comments on
21 this previously and I have talked to some of your staff
22 members. There is sort of an interplay between the Public
23 Utilities Commission and the Energy Commission. The Public
24 Utilities Commission is doing a long-term planning process
25 that intends to incorporate the results of this IEPR

1 forecast. Along with those results, what the Public
2 Utilities Commission is looking for is something that is
3 sort of a lower level detail, which is what is the forecast
4 for increased or decreased direct access by end use
5 customers during the forecast period. And you are probably
6 aware there was a bill passed in the Legislature that is
7 waiting for the Governor's signature, that would re-open
8 direct access to some degree beginning as soon as next year.
9 So in an effort to reduce costs for California consumers, if
10 we can include in the forecast an estimate of the numbers of
11 customers, or some range of customers that would be expected
12 to shift from the utilities to other providers, the ESP's,
13 then the utility procurement could be reduced, and therefore
14 avoid the possibility of additional stranded costs. So that
15 is something that the Public Utilities Commission has said
16 they are looking for the Energy Commission to provide. So
17 far, it has not been done. I have spoken with Lynn Marshall
18 and Tom Gorin about some time before the final is done to do
19 some calculation of this. And I know everybody is very
20 busy, so I just wanted to get my plug in to see if we can
21 get some of that work done. Thank you.

22 COMMISSIONER BYRON: Thank you, Ms. Marin. Do you
23 have any insight on whether or not the Governor is going to
24 sign that bill?

25 MS. MARIN: Looking good from what I hear, but,

1 you know, until it is signed, we do not know. But
2 everything we here is that it is going to be signed.

3 COMMISSIONER BYRON: Dr. Kavalec, would you like
4 to address that comment? Is it one you feel comfortable
5 addressing, whether or not we could or should do anything
6 with regard to a change in the direct access?

7 DR. KAVALEC: Well, we do -- and in the forms that
8 are posted with the report, we will be providing a break-out
9 by bundled and direct access, and there is also a forecast,
10 but it is a simple forecast, it just holds the current
11 number, and it may grow a little bit, but roughly constant
12 throughout the forecast period. But, anyway, I just want to
13 mention, we do provide at least a current breakout of direct
14 access and bundled.

15 MS. MARIN: And if I could reply to that, I would
16 argue that that is -- something better could be done
17 because, certainly, we have some history for direct access
18 in the state, when it opened and what happened, and how
19 quickly people moved, switched back and forth, so I think
20 even using some of this historical analysis of what happened
21 starting in 1998 until today, just holding something steady
22 over a period of time, I mean, that is not accurate. It has
23 not been accurate at all through the course, since 1998. So
24 I am just hoping for something better. Thank you.

25 DR. KAVALEC: Would you happen to know of any

1 survey work being done in this area?

2 MS. MARIN: No, I have not heard of any. Who
3 would be doing it, I guess, huh?

4 DR. KVALEC: Yeah, that would be very useful.

5 COMMISSIONER BYRON: Ms. Marin, I would like to
6 comment on behalf of staff. It is obviously very difficult
7 to do forecasts on a real time basis, depending upon whether
8 or not certain legislation is signed into law or not. I am
9 not sure what we are going to be able to do and still meet
10 the schedule that we are driving staff towards. I forgot to
11 mention earlier in our opening that we are certainly in IEPR
12 season -- we are in the harvest period now of IEPR season.
13 This report is going to have to get done here in some draft
14 form in the next couple of weeks. I am talking about the
15 entire Integrated Energy Policy Report. So there is
16 probably not a lot of time to include assumptions with
17 regard to legislation that is pending into this draft
18 forecast.

19 MS. MARIN: I do appreciate that problem, but even
20 looking at historical events that have happened in
21 California, and knowing -- I mean, we all know that
22 eventually the DWR contracts are rolling off in the next few
23 years, definitely within the forecast period, and as soon as
24 those contracts roll off, just by existing law, direct
25 access reopens. So regardless of whether this bill is

1 signed into law or not, direct access will reopen during
2 this forecast period, and it seems to me that there should
3 be some reasonable way of looking at, okay, well, what would
4 that mean? How many customers might switch away from the
5 utilities? Even looking at what we saw historically.

6 COMMISSIONER BYRON: Okay, thank you. Oh, Dr.
7 Jaske, we will let you have the last word on this.

8 DR. JASKE: I would just like to point out that
9 what is being presented by staff today is primarily a
10 planning area consumption forecast, that is, it is a
11 composite -- let's take PG&E as an example -- of PG&E
12 bundled service, direct access within the PG&E service area,
13 but even POU's in the PG&E transmission area. So it is at
14 sort of the highest level, various kinds of aggregations
15 that could split all those pieces out further. So one
16 option is for the IEPR process to somehow or other continue
17 the charge to an IEPR Committee, or delegate to an
18 Electricity and Natural Gas Committee, you know, any further
19 examination of this issue literally that the PUC requested,
20 such that the adopted forecast is a planning area level, and
21 it would be a matter of dividing into portions that which is
22 bundled and that which is direct access, so there would be a
23 control total established in the IEPR, and this aggregation
24 along the lines of Ms. Marin's request, you know, could come
25 later.

1 COMMISSIONER BYRON: Good. Thank you. Dr.
2 Kavalec, thank you very much. Very responsive changes. I
3 know a lot of effort on your part and the part of others
4 here over the last number of months to revise the forecasts.
5 We are going to have to call it, and I think the Committee
6 is probably ready to do that in terms of adopting this, or
7 at least recommending adoption of this forecast. But we
8 have more to hear today. Thank you very much.

9 I think we are jumping ahead to the Staff Forecast
10 Results for the Southern California Edison Planning Area.
11 Is that correct?

12 MS. KOROSK: Yes, that is correct. Mr. Gorin?

13 MR. GORIN: Good morning, Commissioners. I am Tom
14 Gorin from the Demand Office. And we are going to go
15 through the Edison planning area currently.

16 Our revised forecast for Edison is essentially the
17 consumption forecast and, as we have just discussed, this is
18 a consumption forecast which includes bundled, direct access
19 customers, and the consumption forecast also includes self
20 generation. It is 2 percent higher in 2010, and goes up to
21 5 percent higher in 2018, but it is still a lot lower than
22 what we projected in 2007. Peak forecast is only slightly
23 higher. The peak forecast is net peak forecast, which
24 excludes sub generation, so the self generation is
25 subtracted off of peak, but not consumption. I realize that

1 that is probably confusing and there are both -- in the
2 forms, there are end use loads for consumption and peak, and
3 there is a consumption form, I think 1.2 is net energy per
4 load, which includes losses and subtracts self generation,
5 so you can get net energy needed for generation by the
6 utility, which would be sales plus losses, which is what
7 happens with the net peak table that we report as peak. So
8 that is part of the reason why the peaks are lower in these
9 forecasts, because we have increased self generation that is
10 subtracted off from the peak.

11 COMMISSIONER BYRON: But the consumption forecast
12 includes self generation?

13 MR. GORIN: It includes self generation. There is
14 a separate form that -- there is a separate consumption form
15 in the report, or in the forms, that subtracts off self
16 generation from total consumption. And this is a -- I
17 thought about it as we put this together -- this is the way
18 we reported it for a long time because there was not that
19 much difference in self generation and private supply, and
20 we probably need to re-think the way we are reporting it, in
21 general, but all the parts are there, it is just which parts
22 we put out in the forefront. Right now, as I think about
23 it, consumption is what people are actually using. We do
24 not really differentiate that much between how it is
25 supplied. If you have -- if it is supplied by direct access

1 or PV, and those generation sources fail to work, people
2 are going to still need the energy supplied by someone. So
3 this is the total forecast of consumption.

4 Our per capita peak is constant, the per capita
5 consumption declines, and the load factor is higher than we
6 projected in June, but it still continues to decline. This
7 is a table of the numbers and it is probably easier to look
8 at the graphs. The consumption forecast, starting from a
9 slightly higher point, and it grows at a faster rate overall
10 than previous -- the draft forecast still grows at a lower
11 rate than what was projected in 2007. The peak forecast is
12 just slightly higher than what we projected in June, but it
13 is still a lot lower than 2007, same story for per capita
14 consumption, a little flatter, but still declining because
15 of increases in efficiency. Peak is now relatively constant
16 because people are still using their air-conditioners. And
17 we changed a little bit of the LA County split because there
18 is some differences in forecasts of the way the population
19 is going to flow in LA County, because of the economic
20 downturn it may be going back more toward LADWP service
21 territory than the Edison service territory. And here is
22 the load factor, which still continues its decline because
23 of the use of air-conditioning relative to other
24 consumption. Residential forecasts, we adjusted upward for
25 2008 consumption levels, which is a combination of QFER data

1 and QFER reported self generation data and also additional
2 self generation data that was not reported through QFER.
3 The forecast grows at a slightly faster rate, use per
4 household increases slightly, income grows at a higher rate
5 after the recovery, and peak differences are following the
6 consumption differences. Here, you can see there is a
7 decline, less of a decline in 2010 than was previously
8 projected, and a slightly faster growth. Now, use per
9 household is projected to increase slightly after the
10 recovery because of increased income projections, household
11 income is actually, after the recovery, growing at a
12 slightly faster rate than was projected in 2007. The peak
13 forecast start is relatively the same as the draft, it
14 starts from a slightly higher level. Peak use per household
15 grows essentially the same rate as the previously forecast,
16 but starts from a higher value.

17 The Commercial building sector grows faster than
18 the draft because of floor space increases used per square
19 foot continues its decline, and peak follows suit.
20 Consumption forecasts start at virtually the same point to
21 the June forecast, maybe a little bit higher. And increases
22 because of square footage increases produced by the revised
23 commercial floor space model, it is essentially the same for
24 the first four years, and then after we get by the current
25 economic downturn, it grows at a faster rate than was

1 projected in June. Commercial use per square foot still
2 declines, but not as great as it did in the draft forecast,
3 it declines because of increased lighting efficiency
4 measures and other efficiency measures included in this
5 forecast.

6 The peak grows at a faster rate than the draft
7 forecast now because of the mix of buildings and the greater
8 square footage, but commercial peak is essentially the same
9 as it was in the draft forecast on a per square foot basis.
10 It follows the same general pattern that it did in the 2007
11 forecast. One thing I would like to point out in all this
12 is that it was brought to my attention in a previous meeting
13 with other parties that history is jagged, and the forecast
14 is smooth, and that is the way most forecasts are because it
15 minimizes the -- hopefully minimizes the error in the
16 projections, because if you try to project the building
17 cycle and the bubbles and valleys of history, you have a
18 chance of being 180 degrees off where, here, this is just
19 trying to minimize the errors in what is going to happen in
20 the future.

21 COMMISSIONER BYRON: Or, put another way, you
22 intend to be a lot more wrong than you are going to be
23 otherwise.

24 MR. GORIN: Right. Our industrial sector now has
25 a higher forecast and it has greater recovery than other

1 sectors, and the peak forecast is actually now similar to
2 2007, so in the consumption there is still a large decline
3 in the short-term, but there is an optimistic recovery, not
4 quite to the level of the 2007 forecast, but higher than
5 what we had previously. The peak actually gets up to the
6 2007 level. It is driven by the changes in the industrial
7 mix. And it has the most rapid recovery of any of the
8 sectors. The other sectors are relatively small parts of
9 total consumption and peak. Thirteen percent are
10 consumption, and 7 percent are peak. I will just provide
11 these -- this is -- TCU is a trend model suggested for the
12 2008 starting point. It is adjusted upward to note the 2007
13 level, but it grows at a lower rate because of lower
14 economic projections than 2007. The peak for the other
15 sectors is now higher, but it flattens out to be the same in
16 2018. I should point out that these sector peaks are based
17 on estimates of what each -- the history is based on
18 estimates of what each sector's contribution to peak, which
19 are based on load-metering samples from the utilities, and
20 some other information. So they are -- the history is
21 actually an educated estimate of what the contribution of
22 each sector is to peak, so in some cases history can change
23 and we have -- we keep striving to get a more accurate
24 estimate of the pieces of peak, but it is not really
25 measured with the precision that consumption is measured at

1 because you do not have a billing history of sector peak
2 contributions.

3 The Ag and water pumping sector is higher now and
4 it is actually based on -- the forecast is based on normal
5 rainfall and normal weather conditions. We have had dry
6 years in the recent history, which drives the consumption
7 up, so that is why the forecast is lower than more recent
8 history and the same thing is true for the peak numbers, but
9 we are projecting slight -- more water pumping in the
10 future, and agricultural use.

11 This is an overview of the efficiency savings. I
12 was just going to put a table and numbers together, but the
13 numbers were harder to read than the charts that follow
14 this. They are based on savings estimates that are
15 resulting from the models. The utility program estimates go
16 through 2011. The 2009 to 2011 utility program estimates
17 are based on the current CPUC filings, something Chris will
18 touch on just a little later, about maybe differences that
19 we could look at different program years.

20 Self generation forecast is based on the solar,
21 the CSI part is based on 2008 reported and projected 2009
22 installations, the average of those two years continuing
23 into the future. The historic self generation estimates
24 have been revised in consultation with SCE and we are still
25 working to refine those. The self generation estimates we

1 have now reduce the peak from the draft forecast an
2 additional 400 Megawatts. These are the electricity savings
3 estimates compared to the forecast, which is the gray area.
4 I guess what I would say about this chart is we start from
5 the forecast, which is the gray area, and then make
6 assumptions about what would happen if these building
7 standards and appliance standards had not happened, utility
8 programs and public agency programs had not happened, and
9 savings had not happened, and constant products. So
10 essentially these savings estimates are based on the world
11 stuck in 1975, and we have not gotten any smarter since
12 then. So the total savings is probably an over-estimate of
13 what that actual savings have been. But determining how
14 much smarter we would have actually gotten since 1975 is
15 more of an art form than the art form that is included in
16 these savings estimates. So the total estimated savings
17 here are 25 percent of the actual forecast, so the forecast
18 would have been 25 percent higher if we had -- if we were
19 still stuck in 1975 mentality. And same thing for peak, it
20 would be 28 percent higher. And we will probably hear more
21 about these later.

22 This is the difference in the self generation
23 forecast that I was speaking of earlier. Our preliminary
24 numbers are on the bottom. The revised numbers are the blue
25 lines in the revised forecast. So we are holding the

1 installations constant at the 2008 to 2009 levels for PV
2 through 2016.

3 COMMISSIONER BYRON: Mr. Gorin, is this what you
4 referred to earlier as revising the self generation
5 estimates based upon SCE input?

6 MR. GORIN: Yes, the solid blue line versus the
7 dotted red line.

8 COMMISSIONER BYRON: Okay.

9 MR. GORIN: And this is also based on some
10 reexamination of the self reported self generation estimates
11 on peak that have been submitted to the Energy Commission
12 previously. This represents the portion that is PV versus
13 non-PV of the peak estimates. We did the economic
14 scenarios, as Chris referred to. Consumption and peak
15 increase about 2.6 percent, roughly, in the high case versus
16 the base case and consumption and peak decrease about 2.4
17 percent in the low case. For Edison, they are relatively
18 symmetric. And the peak is similar to that. So with that,
19 I will take questions.

20 COMMISSIONER BYRON: Commissioner Boyd? I will go
21 first and give you a chance. First of all, Mr. Gorin, I am
22 sure glad that there were two slides on each page, otherwise
23 I could not have turned fast enough -- a lot of material
24 covered here. If I go all the way back to Slide 4, where
25 you summarize the Southern California Edison Electricity

1 Consumption forecast, am I reading this correctly that,
2 again, you know, the revised input primarily based on, I
3 assume, the economic forecast revised from Economy.com,
4 instead of having about a 10-12 year lag, we only have about
5 a five-year lag in consumption?

6 MR. GORIN: Yes.

7 COMMISSIONER BYRON: Big change.

8 MR. GORIN: Big change and it is what we are
9 estimating now, we are processing how far the drop was this
10 year.

11 COMMISSIONER BYRON: Uh huh. And we are going to
12 hear from them shortly, correct?

13 MR. GORIN: Yes.

14 COMMISSIONER BYRON: And then, jumping ahead to
15 the slides beginning on 25, TCU standing for Transportation
16 Communications and Utilities Sector, I am not familiar with
17 that sector designation, but I just want to make sure I am
18 reading this correctly, both this and the Ag sector, which
19 follow, represent about 5 percent each of total consumption
20 for the utility, right? So they are relatively small
21 sectors.

22 MR. GORIN: Yeah, they are relatively small. I
23 would just add that Transportation Communications and
24 Utilities Sector is rail transport, airports, sewage
25 treatment, communications, televisions, wires, everything

1 that does not fit neatly into industrial or commercial
2 buildings.

3 COMMISSIONER BYRON: Or residential.

4 MR. GORIN: Or residential.

5 COMMISSIONER BYRON: Okay. Thank you.

6 Commissioner?

7 VICE CHAIR BOYD: I do not think I have a
8 question, just kind of an observation about the importance
9 of self generation in our future and the potential it has to
10 help. I think we have to pay a lot of attention to that in
11 finishing up this IEPR, but no questions.

12 COMMISSIONER BYRON: Well, thank you. And thank
13 you for all the effort on this revised forecast. I think we
14 have adjusted the schedule so we can hear from Southern
15 California Edison. Let's go ahead and do that now.

16 MR. CANNING: Good morning, Commissioners. My
17 name is Art Canning. I am the Manager of Demand
18 Forecasting, both a day ahead and long-term forecasting, at
19 Southern California Edison. I deeply thank you for
20 rearranging the schedule and letting me speak at this time
21 in the morning.

22 What we have come to you with is not much about
23 our forecast, but our comments on the CEC's revised
24 forecast, and offering suggested thoughts or changes that we
25 have either seen or analyzed. In some cases, we have only

1 seen it and have not had a chance to analyze it.

2 We agree overall with the overall changes in the
3 forecast. It is more in line with ours, but since it does
4 not yet include the effect of incremental uncommitted EE, it
5 is hard for me to actually compare it to mine because we
6 embed that in our forecast. But I can say it looks like it
7 is closer, so that is -- I will bring that up a little bit
8 later, too.

9 The Price forecast, Dr. Kavalec sort of said,
10 well, 15 percent. I would like to say that I think that is
11 probably quite reasonable if you -- and we look for some
12 other source for a Price forecast, we look at the 33 percent
13 renewable study by the PUC, even though it is only a
14 preliminary, and we had a lot of comments ourselves on it,
15 as did other people. When you translate those into nominal
16 prices, they show very significant price increases over the
17 next 10 years, or even as far as 15 years, because of the
18 once-through cooling, the need for more transmission
19 infrastructure, and then whatever renewables scenario you
20 want to pick. It seems to -- even with delayed renewables,
21 an increasing goal toward renewables leads toward price
22 forecasts that are more in line of what the staff is saying.
23 So actually, I suggest they ought to just put up on their
24 slide what the PUC study had come up with as a preliminary
25 result, just to show how aligned they are with that.

1 On CSI, on the photovoltaic study, we might be in
2 agreement, we might not. The issue we have really looked at
3 in the forecasting group, and in talking about our CSI
4 Specialists, is that, yes, there is a glut on the market of
5 photovoltaic modules now, the big demand in Europe, those
6 programs that both curtailed, the worldwide production
7 apparently is going up, and the demand has dropped off in
8 certain cases, being in the commercial sector. In the
9 Edison area, there were third-party vendors putting big
10 photovoltaic systems, other CSI's, so they are under a
11 Megawatt, on top of commercial buildings, and then, in
12 essence, selling the photovoltaic power back to the company
13 to the end user off-site in the Edison rate, and the store
14 got the credit for having a photovoltaic on top. A lot of
15 those customers are not as trend worthy as that third-party
16 would now require, and probably will not be for several
17 years due to the construction, and the whole economy. So
18 the commercial sector for photovoltaic looks weak for a
19 couple years, but the residential -- and I think you
20 mentioned that we are getting many more applications for
21 interconnection this year than last year, even in the middle
22 of a recession, and part of that is because we are now
23 holding town hall meetings throughout the Edison territory,
24 inviting people and giving them information about the CSI
25 program, and it is getting quite a response, apparently. So

1 what we have yet to really know is whether these
2 applications turn into an installation because that person
3 still has to pass the credit worthiness test in order to
4 afford these. On my flight up here, I sat next to a
5 physician who thought about it and he said, "Even I can't
6 afford a \$40,000 installation on my roof." But he lives
7 fairly close to Ocean, and I told him he lives in DWP
8 territory, too. But we had an interesting talk. He is
9 working on the outliers up here somewhere, the Commission is
10 out working on a long-range, so, hey, two important issues.
11 So we had an interesting discussion. In any case, I think
12 to really look at how successful CSI can be in the
13 intermediate range, we needed to look at worldwide supply
14 and worldwide demand, and how that is going to change
15 because of Edison, or any other utility, we start signing
16 contracts for 1,000 Megawatt Central Station Photovoltaic
17 out in the desert, that excess supply we see is going to
18 drive it pretty quickly, and yet, if rates increase, the
19 customers who have a lot of consumption in Tiers 4 and 5,
20 the highest rate increase, might still find it economic, so
21 it is a tricky analysis.

22 Using the most recent year's trends, maybe the
23 best you can do for the moment, but it deserves more than
24 that, and I cannot offer it myself, I can say I am working
25 with my own staffs within Edison to try to develop this

1 ourselves, too. They seem to know off the top of their
2 head, but getting it into a model is a second step.

3 Not on here, but also was on electric vehicles.

4 Well, Edison made apparently quite a presentation to this
5 committee back in August about the potential of the electric
6 vehicles, these are hybrid or battery powered, and the
7 tremendous GHG offsets that could be accomplished by that,
8 and they did that based on looking at the most recent
9 marketing releases from the car companies, themselves. And
10 they are aimed heavily at battery electric, all electric
11 vehicles, because that is easiest for them to convert over
12 to. I had not realized until they explained to me that what
13 Toyota has done with the Prius enabled then to be able to
14 both use the gasoline engine to drive the wheels at the same
15 time as the electric to drive the wheels is something not --
16 it is not something common anywhere else, that they have
17 really done something with that. Everyone else would rather
18 just run a gasoline engine into a generator and charge the
19 batteries off that; that is a much simpler technology -- or
20 just all electric. The only caution here is, when you start
21 getting up to a million vehicles, and I am a big supporter,
22 I think this is great, I think hybrid is great, but you also
23 are going to have to look at what it is going to do to the
24 distribution system, and which is why I am more in support
25 of the hybrid. If you remember back to the summer of 2006,

1 we had much higher temperatures than expected. We were 1
2 in 10, PG&E was 1 in 50, or something like that, and we had
3 a lot of transformer failures. Well, distribution
4 transformers are meant to be able to cool off at night in
5 order to keep their lives up. When you have air-
6 conditioning running all night long because of extended heat
7 spells, and then you start trying to charge 1 EV every fifth
8 house or something like that on that, there is going to be
9 an impact on the distribution system. I am not sure if
10 anyone has really looked at it, but our distribution
11 planners sort of look sideways at each other when we start
12 talking about a million electric vehicles, or half a
13 million, or however many you want to assume. So I think,
14 even though the auto companies might be pushing the all-
15 battery, my own personal vision is the hybrid is a better
16 choice because it gives a back-up in case that charging
17 cannot be done. And that is my personal opinion on this, I
18 cannot say it is representative of Edison. We are still
19 very positive about the potential for greenhouse gas offsets
20 for that.

21 There was a comment made earlier about new versus
22 old models, some data, you know, it hits us, too. We got
23 back and sometimes say, well, we tried something new this
24 year, let's go back and put in last year's because we think
25 maybe that technique or whatever looks like it is more

1 consistent. So that is not something just the staff ends
2 up with, it is something we end up with, too. I will just
3 make that comment.

4 On direct access, I know Edison -- I am not the
5 policy expert on this and I know Edison was a supporter of
6 the bill, and I thought PG&E was too, and all I can say is I
7 do not think we would have supported it if we did not know
8 what effect it might have on us. Direct access customers
9 this year have lost sales at a much higher rate than the
10 bundled customers. In other words, I think they have been
11 going out of business at a faster rate. That is the
12 economics, it may not have anything to do with who is out
13 there that wants to be direct access. In fact, when that
14 opens up again, [inaudible].

15 My next area, and probably the area I have the
16 biggest reservations about is the lighting savings. And it
17 is not that lighting efficiencies will not help induce a lot
18 of savings, but what I have seen -- and the staff has done
19 fantastic work, I mean, this volume they put out really
20 helped explain things. But what I have not seen is how many
21 square feet a year are you assuming are being re-lit. And
22 if you are assuming once -- Tom Gorin sent me a note, they
23 thought the model assumed a 10-year life span on commercial
24 lighting systems. That means every 10 years they are
25 replacing it, so the ones being replaced this year were

1 replaced just 11 years ago, and by 2012, they would have
2 been replaced in 2002, so they are not that far behind the
3 current standards. And then, if you assume a 10-year life,
4 that means -- and we have maybe 1.5 percent floor space
5 growth, that means you are remodeling about seven times as
6 many square feet each year as you are building. Now, I do
7 not know if this is high or not, we had looked at meter
8 steps on trying to see how many -- at least in the
9 residential sector -- to get an idea of how many remodels go
10 on, and it was nowhere near that high. I think if you look
11 over at the building boom, maybe there was a lot of
12 remodeling done, but I do not know if a long-run rate, if
13 that is achievable or not. And as I was discussing with our
14 energy efficiency expert, maybe in the medium and bigger
15 sized buildings they do change ownership, or they change
16 lighting systems, but the little mom and pop stores, you
17 know, they probably still have their magnetic ballasts but
18 with whatever fluorescent light they have to put in there to
19 keep going. They are a tough group to make it economic.
20 And unless we go in and pay for the whole system, they are
21 liable not to re-lamp. So I would like to see the staff
22 document how many square feet a year does this forecast
23 imply are being re-lit. And you get down to how many lamps
24 per year are we talking about here. I asked Tom about the
25 residential sector and are you assuming a 10-year life to

1 residential lighting systems? And he said no. And I
2 thought, yeah, my house, I have replaced with much higher
3 efficiency bulbs, but the fixture is the same as it was in
4 1980, and I do not plan on taking those out, as long as any
5 new bulb will fit in that same socket. I certainly used
6 compact fluorescents, but what I am saying here is, in the
7 staff forecast, it is a very big effect, it really reduced
8 the growth rate. Tom, may I quote you on this? Off the
9 record, in terms of -- it just sucks the energy growth out
10 of the commercial and residential sectors, the lighting
11 growth, and the lighting energy growth. We have had
12 retrofit measures before, the federal standards back in the
13 mid-'90s on lighting. I am a little suspicious with a
14 retrofit standard that is that effective. And I would just
15 like to see a little more background. I will be glad if it
16 is true, but I am just a little cautious about being able to
17 support that. And so I would like to see a square foot,
18 let's see the number of lamps, let's see -- is it really
19 what lamp system are you assuming is being replaced?
20 Because a lot of these systems may already have been --
21 magnetic ballasts with T8 bulbs and, you know, you are
22 getting some increase in these fixtures. The other case, I
23 am just saying that the lighting savings is something I
24 would like to see more
25 -- I am going to have to go to quite a level of detail on

1 the end use on that, but number of households impacted each
2 year, and the number of buildings per square feet is
3 probably my first question -- what is being impacted?

4 COMMISSIONER BYRON: If I could just ask you a
5 clarifying question, Mr. Canning?

6 MR. CANNING: Yes.

7 COMMISSIONER BYRON: You said something a little
8 bit earlier about how you look back at your residential
9 customers to try and make some comparison based on retrofits
10 that the residential sector has done. I could not quite
11 understand what you were saying. Were you looking at
12 whether or not they changed their services?

13 MR. CANNING: Well, what we see is, when we look
14 over a long period of time on the residential sector, we
15 install about 10,000 more meters a year than the net meter
16 gained. Now, when we look at that, that means we pulled out
17 about 10,000 meters. And when we talked to our meter
18 expert, he said, yes, if there is a major remodel on a
19 house, we go out -- Edison goes out -- and pulls the meter
20 and takes it back to the shop. When they finish the house,
21 they will go out and put a new meter on it.

22 COMMISSIONER BYRON: Usually for a larger service,
23 correct?

24 MR. CANNING: Well, yeah, for a larger service,
25 but also we do not want the meter sitting on the ground and

1 the contractor stepping on it, obviously, too. And so if
2 it is a lot smaller remodel, and we have been asked to pull
3 the meter, they may leave the meter there, basically on the
4 ground, and come back a couple weeks later and install the
5 same meter. So when we see a 10,000 difference between the
6 gross meters installed and the net meter increase, we have
7 implied, without knowing, this must be about the level of
8 remodels. And I said, well, and I will tell you, over the
9 history, I have tried to find the number of demolitions on
10 remodels and it is not something that is reported, as far as
11 I have gotten out, anyplace easily. The number of new
12 building permits is, but not the number of remodeled
13 buildings. And if staff has more of them that would be
14 something useful to spread to the rest of us because what we
15 have looked at, we just have not found much. Years ago,
16 when I called the City, they said, "Well, call the
17 demolition companies, they'll tell you how many houses
18 they've demolished." I said thanks, you know, that is not
19 the way I am going to go at it.

20 My next comment here, and it is just a reservation
21 -- in the Straw Proposal, our comments to the Straw Proposal
22 at the CPUC on the LTPP, we withheld judgment on using the
23 IEPR forecast because we said we do not know what they
24 embedded -- well, let's see, how is this properly said --
25 incremental, uncommitted, and efficiency -- how much that

1 will be. And without knowing that, we cannot say that we
2 really support the forecast. And because then we know how
3 to match it against ours. So we are still waiting to hear
4 more about that, and we know that is quite a challenge for
5 staff, and they have done a lot of work, but we have been on
6 the record with that, as in my comments here, and I think on
7 the next slide, just say we will respond to the PUC more
8 when we see the final results.

9 I have a few other comments I wrote down here.
10 Oh, the Price forecast, too. Chris, I think you said a
11 slight increase. When you look at the PUC study on the 33
12 percent renewables, when they come up with a price forecast
13 that is about in the range, or, in their lowest case, it is
14 tens of billions of dollars, and they made the comment in
15 one of the -- I think maybe one of the worse case scenarios
16 they had -- that this would involve \$115 billion of
17 investment in California in infrastructure and such, and
18 this is like twice our credit limit for the state right now.
19 It is not a trivial increase, at all. And yet, I think with
20 the policy goals we have, that something -- this is the best
21 assumption to be made. Rick made a comment, I think I heard
22 it clearly, but, yes, this is a big increase in prices.
23 When you look at once-through cooling and all the units that
24 have to be replaced, perhaps new ones built out in the
25 desert and new transmission brought in to bring that power

1 in, it is going to have a big impact. And whatever
2 renewable, something you want to make, it is going to have a
3 big impact. So I would not want you to get any slighted
4 opinion. This is a big effect and, quite likely, with the
5 goals the state has set, those prices will come about. I
6 think that is about all on mine. I am ready to answer any
7 questions.

8 COMMISSIONER BYRON: Mr. Canning, thank you very
9 much. Let me ask you a couple of questions to make sure I
10 am clear on your critique of our staff's forecast. When SCE
11 does a forecast, how do you address, for instance, once-
12 through cooling, and Renewable Portfolio Standards in your
13 assumptions? Do you include -- or do you make some
14 interpretations about the impact of once-through cooling in
15 your demand forecast? Or based upon state policy? For
16 instance, 33 percent renewables, do you assume 33 percent
17 renewables in your forecast? Do you assume power plants are
18 all either repowered or replaced? Help me understand. Do
19 you follow policy --

20 MR. CANNING: Yes, I follow you exactly, that is a
21 great question. I look for publicly available information
22 on this and the PUC study, the 30-33 percent implementation
23 planner is also the best I could get to. Now, I think you
24 know that Edison does not believe we can get to 33 percent
25 by 2020 --

1 COMMISSIONER BYRON: That is kind of why I am
2 asking.

3 MR. CANNING: Okay, so what I did was I looked
4 through the study and found out they had timeline 2B which
5 says something to the effect that factors outside the
6 state's control delay the ability of the state to get to 33
7 percent, actually, ever. We only get to about 85 percent of
8 that goal by 2026. And these factors are a lot to do with
9 getting the transmission right of ways, the technology may
10 not be as effective as they thought, and other legal delays
11 that would cause the state not to reach the 33 percent goal.
12 So in this case, 33 percent was about 19,000 Megawatts, as I
13 remember, statewide. And in the timeline 2B, they get to
14 about 15,000 Megawatts by 2026. I took that case and, with
15 what information they did provide for the year 2020, tried
16 to figure out what the price impact would be for that case
17 because they did not explicitly provide that. And that did
18 include their estimate of once-through cooling. Now, I have
19 not refreshed myself on Edison's comments on it, they have
20 left other retirements out, and I think we had quite a few
21 other comments that should be included in that study, but at
22 the time it was the best public document I had. So that is
23 why I said, well, it is what is out there, and timeline 2B
24 seems like a rationale view of the future in terms of what
25 actually could be accomplished. So that was my source of

1 information on my price forecasting, most recent one.

2 COMMISSIONER BYRON: Commissioner?

3 VICE CHAIR BOYD: Well, I just wanted to comment
4 that, as you indicated, that 33 percent report is out there
5 in draft form now. I do not know how well it was received
6 in the RPS community, but I noted with interest last week,
7 in spite of all the comments and consternation about that
8 report, and the cost figures, that the PUC was actively
9 engaged in encouraging and participating in the 33 percent
10 renewable Executive Order process, and the report was cited
11 more than once in an extremely positive way as supportive of
12 the need to move in this direction. So I have a feeling the
13 final report might be considerably different than the draft
14 report, so I guess we will have to wait to see. But
15 obviously, the sun and the planets have lined up in the last
16 week to a degree that 33 percent RPS is technologically and
17 economically achievable. So we have to predicate where we
18 go on all that we hear, hear what our staff has said, and
19 what seems to be going on around us. So I guess we wait for
20 the final report, or we do not wait for the final report, as
21 we have to wrap up our IEPR findings. And to wait for that
22 report is not going to be timely, as to be left hanging out
23 there in space somewhere in terms of what the economics,
24 cost, and future tend to really be. So, while I share your
25 concerns, we have marched forward.

1 MR. CANNING: I have also been asked by my
2 Manager what gas price forecast did that 33 percent include,
3 and does it include this humongous revision in the gas -- in
4 the evaluation of the United States natural gas resources
5 which was just done recently -- I think they doubled the
6 amount of resources, and the cost of obtaining the drop, and
7 it was like, wow, things are really changing on a big basis
8 here. These are major major changes. Electric vehicles,
9 CSI, the price of the development costs of natural gas,
10 energy efficiency, there is a lot going on in the forecast
11 world right now, more than I have seen since the years of
12 the oil embargo, I would say. And Commissioner, as you
13 expressed, at least I thought I heard, that maybe the high
14 and low scenario were not quite as wide as you might expect,
15 those are exactly the sort of results we get when we put in
16 economic forecasts, and yet I know that the future has got
17 to be much more unknown than what that model would show,
18 something similar to that, as no one would have forecast the
19 size of this economic drop. So we know that the future is
20 much more uncertain than putting a base case and a high and
21 a low economic in there. And it is because I think people,
22 like you said, do not stick their necks out on how big an
23 economic cycle might be coming up, and they do not know.
24 But, yes, I think the future is more uncertain than plus or
25 minus 2 percent, when we just dropped 3 this year, 2 percent

1 last year, and heaven only knows what next year will be
2 just because of the economy.

3 VICE CHAIR BOYD: Right.

4 COMMISSIONER BYRON: Right, plus or minus 2
5 percent at 10 years out there. That is a very small range.

6 MR. CANNING: Yeah, it is much bigger than that,
7 as much as you hate to admit, reality is much bigger and
8 that is where your scenarios is probably better than --

9 COMMISSIONER BYRON: Mr. Gorin, you have been very
10 patient. Did you want to try and add something to this
11 presentation? Or do you have any questions of Mr. Canning?

12 MR. GORIN: Yes. Tried to look through the 33
13 percent documentation over the weekend when Art brought up--

14 MR. CANNING: I think I see the graph you are
15 looking at and I think that is the right one, but go ahead.

16 MR. GORIN: Is this the right one? There is a lot
17 of documentation on the PUC website on the 33 percent
18 renewable and finding a price forecast, for me, was not that
19 easy. And the thing I came to was Edison has a -- from 2008
20 to 2020, has an 11 percent real increase, if I am reading
21 this right. Another chart showed \$.2 a Kilowatt hour real
22 increase from 2008 to 2020. Our price forecast uses I think
23 what Edison provided for their most recent rate case, which
24 has effectively a 2 percent real increase from 2008 to 2010.
25 That would mean, if the 33 percent price forecast is right

1 for 2010, the 2020 forecast would be flat, which I am not
2 too sure about. The way we developed our price forecast was
3 we took utilities, most recent filings for 2009 to 2010 and
4 put those rates in our forecast, and then the 15 percent is
5 made up of 5 percent increase in real terms over the first
6 five years, and a 10 percent increase over the next five
7 years, so we loaded the increases on the back end, figuring
8 that, at some point, we are going to have to pay for
9 transmission distribution upgrades, the renewables, the GHG
10 ramifications, and that is loaded more into the second half
11 of the forecast. I think our forecast is relatively in line
12 with what the GHG calculation is, but I am going to do some
13 more research to try to find what that forecast is.

14 COMMISSIONER BYRON: Thank you. Dr. Kavalec?

15 DR. KAVALEC: Yeah, I just wanted to address the
16 commercial lighting issue that you brought up. I cannot
17 give you an answer right now for the amount of square feet
18 affected each year, but we can get you that information easy
19 enough. About the compliance rate, we agree that a retrofit
20 standard like this is a challenge. In the '07 forecast, we
21 assumed a lower compliance rate and, in this forecast, we
22 assumed -- we increased the compliance rate up to 75 percent
23 because of all the focus paid to lighting savings. We
24 thought, well, maybe a 75 percent compliance rate is doable.
25 But, like I said, we agreed it is a challenge. Also, I want

1 to say, I promise not to call the rate increase "slight"
2 anymore.

3 MR. CANNING: And to be clear, Chris, it is not
4 the compliance rate that I am ready to debate on, it is the
5 fact that the smaller commercial buildings do not retrofit
6 every 10 years. They might go 20 or more years before a
7 retrofit, so the retrofit standard will not impact as many
8 square feet as a model might assume. That is what I would
9 like you to look into.

10 DR. KAVALEC: Yes, we can provide you all the
11 assumptions that have gone into those numbers.

12 COMMISSIONER BYRON: Thank you.

13 MR. CANNING: Thank you.

14 COMMISSIONER BYRON: Hang on a second. Dr. Jaske,
15 did you want to add something?

16 DR. JASKE: I just wanted to make an observation
17 about price increases. The Energy Commission staff did not
18 prepare a holistic revenue requirement projection in this
19 IEPR cycle, in fact, we did not even ask the utilities to
20 provide -- it was a subject of great difficulty in previous
21 IEPR cycles because of sensitivity about rate increase
22 projections and confidentiality about certain elements of
23 those projections that they make for their own business and
24 ratemaking purposes, and staff formerly doing that kind of
25 analysis, you know, we were directed to do other things.

1 But if you think about all the factors that were talked
2 about here today, with the exception of natural gas price
3 projections, almost all of them are capital costs.
4 Renewables is capital costs, solar photovoltaic, you know,
5 the public subsidy part is a capital cost, the replacement
6 of OTC plants by something new is capital cost, so all of
7 the factors that are leading one to suspect there will be
8 rate increases are on capital side of things, not on annual
9 operating cost side of things. So, future gas price
10 variation is actually less of a phenomenon that affects
11 rates going forward than it has been in the past. And
12 lastly, on the point that Mr. Aslin made about whether 15
13 percent over 10 years is the issue, I suspect that if one
14 were sitting in someone at ARB's shoes and being bombarded
15 by GHG compliance costs at the various sectors, if a 15
16 percent increase was all that was being talked about in real
17 terms, that sector would be thought of as getting off pretty
18 lightly compared to everybody else who may be paying way
19 more than that to achieve GHG compliance.

20 COMMISSIONER BYRON: Well, thank you. I think you
21 are correct. One last question for staff, anyone that can
22 answer me. It seems that the key point from the SCE
23 comments is, until the level of energy efficiency embedded
24 in the IEPR demand forecast is resolved, at least to their
25 satisfaction, they cannot voice support of the base case EE

1 assumptions. Are we every going to get to the point where
2 we fully have resolved this embedded energy efficiency
3 issue?

4 DR. JASKE: I think I have to take issue with that
5 characterization. In contrast to the '07 IEPR, when details
6 of the staff's demand forecast were released only very close
7 to adoption of the IEPR, and there was not a process to go
8 through all that documentation, there have been two rounds
9 of analysis in this '09 IEPR cycle where all of the energy
10 efficiency in the forecast has been calculated, summarized,
11 and explained in considerable detail, both the preliminary
12 forecast and this one, that there are whole spreadsheets
13 posted out there on the IEPR website right now that is all
14 of the energy efficiency in this forecast.

15 MR. CANNING: Is that committed or uncommitted?

16 DR. JASKE: That is committed.

17 MR. CANNING: Thank you. I am asking about
18 uncommitted.

19 DR. JASKE: Well, as you undoubtedly know from
20 looking at my presentation for this afternoon, we have not
21 done uncommitted yet, so it is not possible to get it to you
22 today.

23 MR. CANNING: And that is the only source of my
24 hesitation about standing behind the IEPR forecast, is it is
25 not ready.

1 COMMISSIONER BYRON: All right, thank you. That
2 was a good answer. I think it is time for a break.

3 MS. KOROSEC: Yes, we had originally planned to
4 take a break from noon to 1:15. Do you want to keep to that
5 schedule? Or do you want to give people until 1:30?

6 COMMISSIONER BYRON: Let's be fair, let's go to
7 1:30.

8 MS. KOROSEC: All right, we will return, then, at
9 1:30.

10 COMMISSIONER BYRON: Thank you all, very much.
11 And we will pick up on which agenda item at 1:30, Ms.
12 Korosec?

13 MS. KOROSEC: We will begin with Mr. Kavalec.

14 COMMISSIONER BYRON: On conservation efficiency
15 and self generation?

16 MS. KOROSEC: Correct.

17 COMMISSIONER BYRON: Okay, thank you all very
18 much. See you at 1:30.

19 [Off the record at 12:17 p.m.]

20 [Back on the record at 1:33 p.m.]

21 COMMISSIONER BYRON: Let's begin.

22 MS. KOROSEC: All right, so we will begin with a
23 presentation by Dr. Kavalec. Chris?

24 DR. KAVALEC: Okay, this is the next presentation
25 on efficiency conservation and self generation incorporated

1 into our forecast. We tracked three different savings
2 categories in our forecast -- utility and public agency
3 efficiency programs, those that are committed, and that
4 means either already implemented or for which there is firm
5 funding, as well as a specific program plan, building and
6 appliance standards and naturally occurring savings, which I
7 will define a little bit later, and a summary of this
8 presentation, savings from these three sources reduce
9 consumption in peak by around 18-21 percent over the
10 forecast period relative to our approximation of what the
11 world would be without these savings impacts.

12 The largest sources of savings among the three is
13 the combination of building appliance standards. There is
14 additional residential lighting savings beyond the utility
15 programs, an offshoot of the utility programs that I will
16 explain in a moment, and we should always keep in mind that
17 analysis like this has uncertainties and limitations.

18 Okay, first utility and public agency efficiency
19 programs. We have a small amount of public agency impacts
20 included in the forecast -- federal, schools, and hospitals
21 program, and a couple of other ones, I think. But they are
22 a really tiny slice, so I am going to focus exclusively on
23 utility programs. And I am not going to go into a lot of
24 detail because we had two workshops where we did that
25 earlier this summer. But I mainly want to spend my time

1 talking about the changes, the adjustments we have made to
2 program impacts since the draft forecast. I want to also
3 point out, again, the support we have gotten from Itron and
4 our DFEEQP working group, who have helped us immensely in
5 this effort. And an FYI, the working group is creating a
6 subgroup within the larger group to look specifically at
7 modeling methodology forecasting model methodology issues.

8 COMMISSIONER BYRON: And does the Demand
9 Forecasting Energy Efficiency Quantification working group
10 subgroup have an acronym name also?

11 DR. KAVALEC: Not yet and Sy Goldstone is
12 involved, so I fear for the acronym.

13 Okay, in terms of changes relative to the draft
14 forecast, we incorporated publicly owned utility efficiency
15 programs for the revised forecast, and we made a slight
16 adjustment to IOU utility program impacts. First, the IOUs.
17 We updated history going back to 1998 and estimated impacts
18 all the way up through 2011. The way we incorporate
19 impacts is either directly in the model, for example, for
20 residential lighting, or through post pricing which means
21 subtracting efficiency impacts from the model output. The
22 adjustment we made to the IOU program impacts was to reduce
23 the realization rate for utility program impacts from 0.85
24 to 0.7 for the '09 to '11 program cycle. A realization rate
25 refers to adjustments you make for reported savings, maybe

1 where it may end up being higher than actual savings in the
2 real world. For example, because measures are purchased and
3 not installed, or measured savings may be lower than
4 anticipated. So we started out with a 0.85 for '09-'11
5 because there was hope that it would be higher, that
6 delivery mechanisms would be more efficient. But we decided
7 that, since what empirical evidence is out there tends to
8 show consistently a realization rate between 0.6 and 0.75,
9 we thought it would be more realistic to use 0.7 for that
10 program cycle like we are doing with all the other years.
11 And we hope we are proven wrong, but we will have to wait
12 and see.

13 And a critical factor, the CPUC may shift to a
14 2010 to 2012 program cycle, and I will talk about the
15 impacts that would have on the forecast a little bit later.

16 COMMISSIONER BYRON: Well, will we know that this
17 week? Don't they vote on that this week at the PUC?

18 DR. KAVALEC: Is it this week?

19 VICE CHAIR BOYD: My understanding.

20 COMMISSIONER BYRON: Yes. Thank you.

21 DR. KAVALEC: Good, that is good. Okay, this next
22 graph shows a cumulative efficiency program savings for the
23 IOUs for the three forecasts. The '07, of course, the red
24 one being much lower mainly because it did not include the
25 '09-'11 program impacts. And the difference between the

1 green line and the dark blue line indicates the impact of
2 reducing the realization rate from 0.85 to 0.7, and that
3 difference is a maximum of roughly 800 Gigawatt hours in
4 2012. Now, this rapid drop-off that we see here after 2011
5 tends to cause consternation because it is a pretty severe
6 drop. And there are two reasons for that and the first is
7 that we are only considering committed programs, so after
8 2011, there are no new first year program impacts, it is
9 just existing measure of savings decaying. And the second
10 reason is that a significant portion of program impacts
11 comes from lighting, and lighting measures tend to have
12 shorter expected useful lives and other measures. So there
13 is a rapid decay. But what I thought I would do was to show
14 what I call here a "actual decay of IOU program impacts"
15 that adds back in this additional residential lighting I am
16 going to talk about a little bit later, which is an offshoot
17 of utility programs. In other words, you can think of this
18 red curve there as showing direct IOU program impacts and
19 indirect impacts as additional residential lighting. Okay,
20 so the drop-off, as you can see, when we add that back in,
21 is much less dramatic.

22 Okay, on to the POUs. We updated program savings
23 for the '06 to '09 period by end use, using Senate Bill 1037
24 filings required to the Energy Commission. We used the same
25 basic methodology as we used for the IOUs in terms of

1 expected useful lives and realization rates. That is, we
2 also used a realization rate of 0.7. And, as in the IOU
3 case, some impacts were incorporated in the models, others
4 post-processed. And 2009 is the last year that we
5 considered committed for the POUs. We all know that there
6 are goals that the POUs are required to meet beyond 2009,
7 but after 2009, there is no specific program plan for us to
8 work with, so it is not real meaningful to attempt to
9 measure specific amounts of savings. So there are goals,
10 there is efficiency reasonably expected to occur, but it is
11 not committed in our forecast.

12 Here is what the updated POU Cumulative Program
13 Impacts look like, roughly four times the impact in 2009
14 versus the 2007 forecast. I do not show the draft forecast
15 here because, in the draft, we use the same numbers as in
16 '07. And since I did this for the IOUs, here is what
17 happens when you add back in additional residential lighting
18 savings in the POU case, less of a dramatic drop-off,
19 although the difference is not as big as in the IOU case,
20 and that is because, as a percentage of total savings,
21 lighting is smaller in the POU case than it is in the IOU
22 case.

23 Okay, our next category, building and appliance
24 standards, we incorporate standards into our models with
25 changes in inputs. For example, for a given standard, we

1 might change the average amount of cooling per household in
2 the residential model. To measure the impact of each
3 individual set of standards, what we do is, for each,
4 starting with the most recent set of standards, we remove
5 the input effects of those standards in our model, we re-run
6 the model, and then the difference between the two model
7 runs, one with the standard and one without, gives us an
8 estimate of the impact of the standards on consumption.
9 Here is a list of standards going back to the 1975
10 Residential Building Standards.

11 And our next category, naturally occurring
12 savings. The reason this is in here is it is meant to
13 capture load impacts not directly associated with standards
14 or programs, but that could overlap with programs and
15 standards. And what naturally occurring savings
16 specifically means is the impact of rate changes, which we
17 call price effects, people use less electricity and/or buy
18 more efficient appliances in the face of rate changes, that
19 creates savings, and this additional residential lighting
20 savings. The term "naturally occurring savings" may change,
21 given the taxonomy work that we are currently involved in,
22 meant to standardize the terminology used for efficiency
23 related terms. Because "naturally occurring" is used
24 slightly differently in other venues, so the name may
25 change, but for now, for this forecast, "naturally occurring

1 savings" means a) price effects, and b) additional
2 residential lighting savings.

3 Okay, so what is this residential lighting savings
4 all about? We know that lighting is the focus of utility
5 programs in the legislation, like the Huffman Bill, and we
6 know the committed utility program impacts decay after 2011
7 in the IOU case, and after 2009 in the POU case, and we
8 thought it was unrealistic to assume that average lighting
9 per household would, after 2011, would immediately return to
10 current levels. For example, households would immediately
11 go back to incandescent light bulbs and stop using CFLs. So
12 what we did was to assume that average residential lighting
13 continues at 2011 levels for the IOUs and 2009 for the POUs;
14 basically, that is saying, say in my house, the result of
15 all these utility programs was that I reduced my lighting by
16 25 percent, well, after 2011, we assume that 25 percent
17 continues, and that is added into additional residential
18 lighting savings. And this is -- it does not strictly meet
19 the definition of committed for our forecast, but we thought
20 that it was so likely to occur that we would be remiss in
21 not making some adjustment for these additional savings.
22 Okay, so those are the three categories. And here is the
23 distribution among the categories. You will notice for 1990
24 there, savings is greater than zero, and that is because we
25 tracked savings going back to 1975. So what you see there

1 in 1990 is an accumulation of previous standards and price
2 effects. You can see naturally occurring savings, the gray
3 part, begin to increase after 2010 because of the additional
4 residential lighting savings and because of the rate
5 increases.

6 Utility and public agency programs, the light blue
7 there, you can see reach a maximum in 2011, and then begins
8 to drop off as measure savings decay. Peak savings, roughly
9 the same story. And some numbers to go along with that,
10 total consumption reduced almost 18 percent in 2010 and 20
11 percent by the end of the forecast period relative to our
12 alternative universe of no savings. Standards are
13 responsible for the bulk of those savings. And utility
14 programs reach a maximum share of the total savings of 20
15 percent in 2011, and then begin to decay.

16 So here is what our "unmanaged" or
17 "counterfactual" consumption would look like if we took the
18 savings and added that back into historical consumption and
19 projected consumption. Around 57,000 Gigawatt hours of
20 savings in 2009, and almost 80,000 in 2020. And here is
21 what it looks like for the peak, almost 19,000 in savings in
22 2020. And this brings us to some of the limitations of this
23 analysis. We are relying on the assumption of the world
24 without savings being the same as current and projected
25 consumption levels plus savings added back in. When we know

1 the alternative, the counterfactual is slightly different
2 from what the world would actually be without savings,
3 because the existence of efficiency programs and standards
4 actually changes the world. So, for example, because of the
5 existence of efficiency programs and standards, customers
6 may purchase more air-conditioners because they are now
7 cheaper to operate, or there is incentive involved in
8 purchasing the air-conditioner, so therefore, in the world
9 now we have more air-conditioners than we have in the
10 actual, as opposed to our approximation, of the world
11 without savings.

12 Attribution is inexact, for example, we know that
13 utility programs can make it easier to meet requirements of
14 standards, however, standards are given all the credit and
15 utility programs none. So there is some overlap there.

16 There is this idea of "take back," which I will
17 talk more about in a minute. And we are not sure yet what
18 impact the economy can have on utility programs. What does
19 a continued recession mean for utility measure adoptions in
20 the next couple of years? Is it going to go way down? What
21 is going to happen when the economy recovers and begins to
22 grow quickly?

23 Okay, a little bit about the "take back" or what
24 is called the "rebound effect." I am presenting this to
25 make a point about the uncertainties involved in measuring

1 savings. The take back effect takes various forms, the
2 most well known of which is, if you have a more efficient
3 appliance, then you may use it more hours because it is
4 cheaper to operate. So that first bullet there is -- it
5 should say "increased hourly usage" instead of "electricity
6 usage." Because you use the appliance more hours in the day
7 because it is cheaper to operate. There may also be a
8 propensity to purchase larger appliances since they are now
9 cheaper to operate. They may be in "income effect," if you
10 are saving money every month on your utility bill, you may
11 save up and buy a plasma TV or something. There may be
12 production effects, for example, if industrial motors are
13 more efficient, we may find that energy intensity in
14 production begins to increase because it is cheaper to
15 operate these industrial motors.

16 Now, some have claimed that the cumulative take
17 back or rebound effect could be more than 50 percent, that
18 is that we lose 50 percent of reported savings through this
19 increase in consumption. Now, I am not claiming that the
20 rebound effect is some huge number. The point I want to
21 make is that we spent a lot of time collecting reported
22 savings data, creating a consistent time series, making
23 careful adjustments, but in terms of what impact these
24 savings, these programs actually have on the real world,
25 well, we may have a little bit more work to do.

1 Okay, so that is our efficiency and conservation,
2 and that is the starting point for our uncommitted forecast.
3 Our job is to look at all the reasonably expected to occur
4 uncommitted programs coming up in the next 10 years, and
5 estimate how much of those savings overlap with savings
6 already in the forecast. And from that, we get an estimate
7 of the incremental effect from uncommitted savings, and that
8 provides us a "managed forecast" for CPUC long-term
9 procurement -- for the long-term procurement process.

10 Okay, self-generation, we tracked all the major
11 programs, including the California Solar Initiative, the
12 National Solar Homes Partnership, smaller POU Programs, as
13 well as the traditional big industrial and commercial
14 generators. For the solar programs, we used the average
15 rate of PV system installation and pending installations for
16 2008 through 2009, and we carried that forward for our
17 forecast. And after 2016, we assume that PV systems grow at
18 the average -- that these two programs and, by the way, in
19 2016, after 2016 we assume that PV system installation grows
20 at the rate of energy growth. We used a peak factor for
21 photovoltaic systems of .5, that means of the total capacity
22 that is out there, 50 percent is being used during peak
23 periods, and that comes from averaging four years of studies
24 conducted by the CPUC.

25 So here is what the forecast looks like.

1 Significantly higher for self-generation, compared to the
2 previous two forecasts. The main reason for that comes from
3 additional PV installations, as we see in the next graph.
4 Around 600 Megawatts more installed in 2016, compared to our
5 draft forecast. Now, to get -- since we are using a peak
6 factor of 0.5, you can take these numbers and multiply them
7 by 2, and that will give you an approximately of the total
8 capacity installed. So, by 2020, we are looking at almost
9 2,800 Megawatts installed.

10 COMMISSIONER BYRON: Dr. Kavalec, you may have
11 said this, and I apologize, but what causes the change in
12 slope for the '09 forecast at about 2016?

13 DR. KAVALEC: Oh, that is the end of the two big
14 solar programs. So they are no longer incentivized unless
15 they are continued. So we assume the growth rate after that
16 point is equal to the average growth rate of energy.

17 COMMISSIONER BYRON: Thank you.

18 DR. KAVALEC: Okay, finally the question of
19 shifting the program cycle from 2009 to 2011, to 2010 to
20 2012, which is likely going to happen. We prepared a
21 forecast assuming this shift, and these next two graphs show
22 the impact on consumption and on peak for the IOUs. First,
23 consumption. In 2012, the maximum difference is a little
24 bit less than 1 percent compared to assuming '09 to '11, and
25 by 2020, that difference is around 0.5 percent. For peak,

1 there is less of a difference, and that is because programs
2 tend to affect consumption more than maybe peak; around a
3 0.5 difference in 2012 compared to the '09-'11 assumption,
4 and falling to around 0.2 percent difference by 2020. So
5 here are options. We can keep the current forecast in the
6 report and we can adjust assuming the shift to 2010 to 2012
7 is approved, and we can adjust our uncommitted forecast
8 based on this shift. Or we can keep the current forecast of
9 the report and add an addendum that shows the differences in
10 the forecast in the event of a program shift. Or we can
11 just replace the current forecast in the report with one
12 assuming the 2010 to 2012 shift. So that is a decision we
13 will have to make relatively soon. And with that, I will
14 take questions or comments.

15 COMMISSIONER BYRON: Do you have a recommendation
16 on what we should be doing there, Dr. Kavalec?

17 DR. KAVALEC: Assuming that it is approved, even
18 though it is more work, my suggestion would be to replace
19 what we have in the report. Tom, you can do that, right?

20 COMMISSIONER BYRON: Any questions?

21 VICE CHAIR BOYD: No questions.

22 COMMISSIONER BYRON: I do not have any questions
23 either. Is there anyone else that would like to ask a
24 question or to make any clarification? Please.

25 MR. ASLIN: So my name is Richard Aslin and I work

1 for the Pacific Gas & Electric Company. And, Chris, could
2 you go back to Slide 7? I just wanted to make sure that I
3 understood what the red line was signifying, so would you
4 mind explaining that again?

5 DR. KAVALEC: The additional residential lighting
6 savings that we assume occur after 2011 as an offshoot of
7 utility programs before that point are added back to
8 decaying utility program impacts.

9 MR. ASLIN: Okay, and that is equivalent to the
10 assumption that, at least for residential lighting programs,
11 that when your CFL bulb burns out, you replace it with
12 another CFL bulb?

13 DR. KAVALEC: Right.

14 MR. ASLIN: That is essentially what that is. So
15 would that be -- if I wanted to think about it this way,
16 would that be sort of the same as thinking of it as that is
17 the imbedded uncommitted?

18 DR. KAVALEC: Yes.

19 MR. ASLIN: Okay, so there is the imbedded
20 uncommitted, then there is the incremental uncommitted, then
21 there is the committed?

22 DR. KAVALEC: Right.

23 MR. ASLIN: Three kinds of energy efficiencies,
24 committed, imbedded uncommitted, and incremental
25 uncommitted?

1 DR. KAVALEC: Yeah. As I said, this is an
2 exception to our rule of only including committed, but we
3 thought it was so likely that we should include it.

4 MR. ASLIN: Yeah, I agree. I think that is a big
5 improvement because I think it does make sense to believe
6 that people are going to replace the CFLs with other CFLs.
7 I guess my question there is, why not make that assumption
8 for all programs? Because if I am an industrial customer
9 and I replace a less efficient motor with a more efficient
10 motor, and 12 years from now I need to replace that, it is
11 very likely that I am going to replace that motor with at
12 least as efficient a motor as I currently have.

13 DR. KAVALEC: Well, that is because we stop using
14 committed, or we stop considering program impacts committed
15 after a certain year because we do not know what program
16 plans are going to look like. And program plans are going
17 to affect the way people -- whether people replace current,
18 more efficient equipment with the same equipment or not.

19 MR. ASLIN: I agree with that, but you overcame
20 that hurdle here just by assuming that they would replace
21 with that at least an efficient --

22 DR. KAVALEC: Yeah, I guess I would call that a
23 matter of probabilities.

24 COMMISSIONER BYRON: But you assumed .7 of the
25 CFLs would be replaced. Was there some factor involved?

1 DR. KAVALEC: No, .7 was for the realization rate
2 for the utility programs.

3 COMMISSIONER BYRON: Yes, but I am talking about
4 the -- I do not want to use the wrong term -- the lighting -
5 - additional lighting effects, lighting savings. You did
6 not assume that every single bulb would be replaced, did
7 you?

8 DR. KAVALEC: What we assumed was, one way or
9 another, residential savings were going to continue. That
10 might come about because of the Huffman bill, or it might be
11 future utility programs, but those savings were going to
12 continue.

13 COMMISSIONER BYRON: Mr. Aslin is suggesting, why
14 don't we carry that a little bit further.

15 MR. ASLIN: That is what I am saying. I do not
16 see why stop at residential lighting. Why not have it also
17 apply to commercial lighting and things of that nature?
18 Because, to me, that seems like a more reasonable assumption
19 than to assume that it reverts back to what the efficiency
20 was prior to making the improvement in the first place.

21 DR. KAVALEC: Yeah, and as I said, it is a matter
22 of probabilities, and because of the focus on lighting. So
23 that is my best answer. It met some threshold where we
24 said, this is so likely that we are going to include it.

25 COMMISSIONER BYRON: Mr. Gorin?

1 MR. GORIN: I think in the commercial model, the
2 lighting fixture part is included in the model and it is the
3 new standards, it is assumed by the time they decay that
4 they are replaced by something that meets the new standards.
5 So that becomes not a utility program, but a standards
6 savings, so this is where the allocation problem comes in --
7 what kind of savings is it? And for the original lighting,
8 residential lighting savings, we assume that 70 percent of
9 the CFLs that were handed out were used from the utility
10 programs and held that level constant. So the peak there
11 for lighting savings uses the realization rate as 70 percent
12 to get to that peak.

13 MR. ASLIN: Okay, well, that is good. My next
14 questions were really around can you explain how, you know,
15 making that assumption on the residential lighting, how that
16 interacts with the forecast growth rate of peak or energy?

17 DR. KAVALEC: How it interacts?

18 MR. ASLIN: Yeah. Is it a one for one trade-off?

19 DR. KAVALEC: Well, yeah. It is for consumption,
20 yeah. So if we did the forecast assuming households went
21 back to previous practices before the utility programs, then
22 the consumption would grow by the amount of these additional
23 residential lighting savings, yeah.

24 MR. ASLIN: Okay. I wanted to make sure I
25 understood that. And then the next question was how does

1 this assumption interact with the analysis about the
2 incremental uncommitted?

3 DR. KAVALEC: These lighting savings are -- you
4 could call that a temporary category to be assigned
5 somewhere in the uncommitted analysis, so they will be
6 attributed to future utility programs, for example, the
7 Huffman bill, and maybe something else. But right now, they
8 are temporarily in our naturally occurring category.

9 MR. ASLIN: Okay, so there is a 1:1 correspondence
10 there, or there should be, also. All right, thanks. So the
11 next question I had was on this take back effect. So you
12 said there were some studies that -- comments that have been
13 made -- there was something out there that the take back
14 effect could be as much as 50 percent. And I am just
15 wondering, how is that captured in the end use modeling? I
16 can see how that would be captured in the econometric model,
17 but how is that captured in the end use model?

18 DR. KAVALEC: Yeah, that was my point, and this
19 being a limitation of this analysis, it is not fully
20 captured in our end use models. The only place where it is
21 captured is that first take back effect I talked about where
22 people use an appliance for more hours; that is accounted
23 for in our commercial model, but not in the other models.
24 So that is, as I said, a limitation of the analysis.

25 MR. ASLIN: Okay. And then I had a question on,

1 you know, in your earlier presentation, you said that you
2 had developed, or someone in your group had developed
3 econometric models for residential, commercial, and
4 industrial, and that when you simulated those econometric
5 models over the forecast period, the result was that the
6 forecast that was created was very similar to the forecast
7 that was created via the end use model.

8 DR. KAVALEC: Right.

9 MR. ASLIN: And my question was, how did you treat
10 imbedded and -- how did you treat the committed and the
11 embedded uncommitted energy efficiency in the context of
12 those econometric models?

13 DR. KAVALEC: That is probably maybe more of a
14 technical discussion we could have offline.

15 MR. ASLIN: Okay. Right. I would be happy to do
16 that. And my final question was, if I could ask one final
17 question, on the photovoltaic's, there was a big difference
18 between the draft assumptions around the installation of
19 Megawatts of photovoltaic's and the revised forecast. And
20 what is the reasoning for that?

21 DR. KAVALEC: Well, it is because the rate in
22 2009, as Art alluded to earlier, has been so much higher
23 than in 2008. That brings up the average, so it brings up
24 the rate of installed in our forecast.

25 MR. ASLIN: Okay, so that difference was

1 predicated on looking at more recent historic data.

2 DR. KAVALEC: Right.

3 MR. ASLIN: And what is the source of that
4 historic data?

5 DR. KAVALEC: It is data filed with the CPUC and
6 with the Energy Commission, and I forget which regulation it
7 is under, but that is where it comes from. I can get you a
8 specific source, but our self-generation forecaster is not
9 here, so I cannot tell you.

10 MR. ASLIN: Okay, yeah, I would like to look at
11 that also because there is some kind of disconnect, for
12 PG&E, at least, in the data there.

13 DR. KAVALEC: Right.

14 MR. ASLIN: Okay. All right, well, thanks very
15 much. And I am very encouraged by the revisions in the
16 forecast and the direction that things are going, looking at
17 climate change, looking at electric vehicles, looking at
18 different impacts from energy efficiency and things like
19 that. So I just really want to say thanks very much to
20 staff for taking the effort, the time to do that.

21 COMMISSIONER BYRON: Good. Thanks for your
22 comments and your questions. I am sure if we give staff
23 enough time, they get it completely right to your
24 satisfaction.

25 MR. ASLIN: The thing with forecasting is, there

1 is not any right. So I learned that a long time ago.

2 COMMISSIONER BYRON: Okay, thank you. Anymore
3 questions or comments? Please.

4 MS. HORWATT: Hi. I am Andrea Horwatt from
5 Southern California Edison. I just have one question. I
6 would like to make a comment, though. I would like to give
7 Chris and Tom and Dr. Jaske just a lot of kudos for the work
8 that has been going on at the DFEEQP meeting. I think there
9 has been a lot of really good exchange of information and
10 really advancing the state of knowledge in the forecasting
11 arena. And I appreciate them involving the broad group of
12 stakeholders in that effort. The question I have, and I
13 will take my answer off the air, is to just -- if Chris and
14 Tom could speak a little bit more to page 11, and
15 specifically the methodology that is used for estimating the
16 building and appliance standards, impacts, and how that kind
17 of interacts with the impacts of utility programs, naturally
18 occurring price effects, and etc. Are those looked at --
19 how are those considered in this analysis of the building
20 and appliance standards?

21 DR. KVALEC: I will defer to Tom on this because
22 he has more experience with this kind of analysis. Do you
23 want to try and take that one, Tom?

24 MR. GORIN: Sure. I will make an attempt. The
25 appliance -- the building and appliance standards are

1 modeled by percentage reductions in our estimated actual
2 use of appliances, and they supersede utility programs, so
3 the utilities of I believe now and the greater scheme of
4 things, that the CPUC get credit for influencing building
5 and appliance standards. So, you know, what portion of the
6 utility programs that influence building and appliance
7 standards, and building and appliance standard savings -- we
8 are not worried about allocation between those two because
9 we just allocate those to building and appliance standards.
10 Those are the -- I think that is an answer to one of your
11 questions.

12 MS. HORWATT: And I -- I should have stayed on the
13 air -- part of what I am looking at is not just the IOU
14 Codes and Standards Programs, but would also be the other
15 regular incentive and other types of programs, as well, in
16 terms of impacts. In other words, where they get counted as
17 you run the scenarios, stripping off the Codes and Standards
18 impacts.

19 MR. GORIN: The incentive programs would be
20 subtracted externally from the model.

21 MS. HORWATT: Okay, so are they subtracted first?
22 Or what is the order?

23 MR. GORIN: They are subtracted after.

24 MS. HORWATT: So it is a residual --

25 MR. GORIN: Yeah, but it -- it would help if I

1 looked at page 11. It is a separate residual. It depends
2 on the program, specific program, and there is on page 173,
3 there is a table of the treatment of IOU program savings by
4 end use and sector that may be helpful.

5 MS. HORWATT: This is the staff report
6 accompanying the forecast -- okay.

7 MR. GORIN: But for the specific building and
8 appliance standard savings, percentage reductions for each
9 of the standards are benchmarked to actual -- not actual --
10 but estimated use per appliance, which is benchmarked to
11 actual use per household, which effectively discounts other
12 reported savings that, like the Building Appliance Standards
13 Office uses more engineering estimates of savings. So we
14 discount that by actual use per household. But it is the
15 same percentage reduction.

16 MS. HORWATT: My concern in my question is, we do
17 a great job, I think, as a state, an incredible job of
18 measurement and evaluation studies of program impacts. I
19 just want to make sure that we are taking full advantage of
20 that in the work that we are doing in attribution and
21 applying it to the forecast. And, you know, that none of
22 that resolution gets lost in the process of kind of back
23 casting or looking at any of these other impacts.

24 MR. GORIN: Right and a lot of analysis is
25 relatively in its infancy of attribution because it is sort

1 of a quagmire of differing programs and what we are mainly
2 concerned with from a forecasting perspective is there is
3 not a level of -- not double-counting savings so you end up
4 with an artificially low forecast.

5 DR. JASKE: Let me -- this is Mike Jaske, Energy
6 Commission staff. Let me supplement what Tom said to
7 Andrea's overall question, and that is, are we making full
8 use of the EM&V data? And I think the answer is no. We
9 made considerable strides in this cycle in making use of the
10 portions of EM&V data that have to do with first year
11 savings and the various kinds of adjustments to first year
12 savings, and then sort of broadly applying these realization
13 rates that Chris mentioned earlier in his presentation, but
14 those realization rates are a generalization of what is
15 learned through all sorts of detailed ex post studies that
16 take three, four, or five years to complete relative to when
17 the savings were first installed. And those ex post
18 studies, as you well know, are not very fully fed back in
19 any organized way that poor forecasters can sort of take the
20 mass of those results and go to a database and see how some
21 study done three or four years downstream has actually
22 analyzed the extent to which a particular kind of measure
23 that started off as a first year, and had net versus gross
24 adjustments, etc. etc., how all that actually translates
25 itself into sort of permanent savings estimates. And the

1 PUC is proposing -- PUC staff is proposing a better means
2 by which all those ex post studies can be collected together
3 in an organized fashion, I believe, for what was originally
4 called the '09 to '11 program cycle, going forward,
5 presumably now being implemented in 2010 to 2012. And from
6 their perspective, that is their focus. From our
7 perspective and our colleagues that are employed by the
8 utilities doing similar things, we want to know what those
9 ex post studies mean for all the prior years' worth of
10 savings that have been spent, installed, presumably have
11 some lingering impacts, except perhaps for CFLs from more
12 than four or five years ago, they are already gone. But we
13 do not have a very good way of systematically incorporating
14 those data into our forecasts. And we are attempting to tee
15 up that issue with the PUC and to get funded out of the new
16 round of EM&V studies, you know, going back at least some
17 period of time so as to get those ex post studies accessible
18 and organized in some coherent -- call it a database sort of
19 fashion that you can match up to the first year of savings.
20 So that is a significant piece of the overall EM&V effort
21 that we have not yet been able to actually wrap our arms
22 around and bring into the forecasting process. And perhaps
23 we will be able to make progress in the 2011 IEPR cycle if
24 we can convince the PUC to assign some funding to that, and
25 we can all sort of get collectively behind spending some of

1 those dollars in that manner.

2 MS. HORWATT: Yeah, not an easy problem at all.

3 And, again, I think you guys are doing a great job to
4 increase our understanding of this area. Thank you.

5 COMMISSIONER BYRON: Ms. Horwatt, I would like to
6 also add that I appreciate your regards for the imparting of
7 knowledge that takes place at this, and I always have to
8 look it up -- this DFEEQP working group. I suspect it is
9 also a little bit of terminology and communication that
10 contributes -- or I like the word "Taxonomy," getting these
11 definitions right. But it is also your involvement and the
12 involvement of the investor-owned utilities extremely
13 helpful at your level, let's say it is not typically
14 encumbered with some of what I will characterize as
15 corporate objectives of the parent company, which sometimes
16 tend to get in the way of our ability to figure this all
17 out, so I appreciate your participation very much, too. Do
18 we have any other comments or questions? Do you have
19 something online? Go ahead.

20 MS. GREEN [presumed]: Yes, Commissioners, we have
21 Mr. Rich Ferguson with RETI.

22 COMMISSIONER BYRON: Oh, Mr. -- Dr. Ferguson, go
23 right ahead.

24 DR. FERGUSON: Good afternoon, Commissioners and
25 our hardcore people who are still there. I just have a

1 quick comment on this. If you can go back to the PV slide
2 on the self-generation? Commissioner Byron had mentioned
3 that earlier and I had a comment. As you all know, RETI ran
4 into a lot of flack with the public about the initial PV
5 [inaudible] projections, and the goal is that rapid increase
6 to 2015 to do the program. The goal, of course, is that
7 that will lower costs and do whatever else it is supposed to
8 do to transform the market. In RETI's forecast, we
9 projected that growth rate on out to 2020, so the RETI
10 numbers that we are using were grid connected generation,
11 and are quite different. And I do not know if you are going
12 to run into some flack with this assumption, if it is
13 reasonable, but of course the hope of that program is to
14 make this growth rate permanent and have it die in 2016.
15 So, I just thought I would make that comment. I have some
16 other comments, but I guess I will wait until the public
17 comment period.

18 COMMISSIONER BYRON: Thank you, Dr. Ferguson.
19 Anyone from staff wish to comment on that?

20 DR. KAVALEC: I will just add, Rich, that problems
21 like this are why we are in the process of developing full
22 predictive models for self-generation, that take into
23 account costs, so we can look at the impact of, for example,
24 declining costs as we go out over the next 10 years. But
25 right now, I would be the first to admit that our process

1 for projecting self-gen is fairly primitive.

2 DR. FERGUSON: Yeah, well, I hope you are wrong.
3 I mean, I hope that line after 2016 is the right line, but
4 on the other hand, I certainly am not certain that the RETI
5 prediction is the right one either.

6 COMMISSIONER BYRON: Well, we know they are wrong.
7 These gentlemen continue to boldly go where no one else will
8 go. We hope they are conservative in their projections.
9 Any other comments or questions? All right, once again,
10 thank you. And I think we are pressing on now. We are
11 picking up our agenda with regard to staff forecast results
12 for San Diego Gas & Electric. Is that correct?

13 MS. GREEN: I believe Mr. Gorin would like to
14 start with Pacific Gas & Electric.

15 COMMISSIONER BYRON: Okay. All right, so we are
16 skipping down the agenda, then, to the staff forecast
17 results for the Pacific Gas & Electric planning area and
18 comparison to PG&E's forecast.

19 MR. GORIN: We planned this change before lunch.
20 I was not sure that the San Diego representative was going
21 to be here to talk. He made it, but we will go with PG&E.

22 This format is similar to the Edison format. This
23 is mainly to get these charts and numbers on the record and
24 get the report on the record, and to show changes from the
25 June forecast. So I may go through them, some of these,

1 rather rapidly. The forecast for consumption is between 2
2 percent higher in 2010, and it is 5 percent higher in 2018
3 than what we had in June. This is still lower than the 2007
4 forecast by 2 percent. The peak forecast is only 1 percent
5 higher than the June forecast. Per capita consumption and
6 per capita peak are both declining. And the revised self-
7 generation forecast reduces peak by about 200 Megawatts by
8 2020 due to the increased PV assumptions. And the load
9 factor is higher than we had in June, but it is still
10 declining.

11 This is a table. You will note there is a
12 difference in history for 2008, for both peak and energy,
13 and that is because in June we were still working on some of
14 the estimates for self-generation on consumption and the
15 peak number reflects both difference in self-generation
16 estimates. And the June forecast was actually a weather-
17 adjusted peak number, and the forecast we have now is
18 theoretically the actual peak 2008 number.

19 The forecast is higher than the forecast in June,
20 partly by incorporating the increased consumption numbers in
21 2008 as a benchmark to calibrate to. The recovery is
22 greater than was forecast in June. And the growth rate now,
23 after the recovery, is similar to that in the 2007 forecast.
24 The peak forecast starts at essentially the same point, but
25 grows slightly faster. There was not as great a difference

1 between the 2007 and June forecast as there was in the
2 consumption forecast.

3 Per capita consumption is relatively the same
4 story as total consumption, it is relatively -- it grows
5 after the recovery and then declines at a slower rate than
6 the draft forecast, but slightly faster than the June
7 forecast. Per capita peak, similar story. It grows at a
8 slightly higher rate, but still declines faster than the
9 2007 forecast, partly caused by the increase in PV estimates
10 of self-generation on peak.

11 And the load factor continues its decline.
12 Forecast load factor is based on our assumptions of adjusted
13 normal weather, adjusted for the heating and cooling degree
14 date ratios for a 12-year to 30-year average on both heating
15 and cooling loads, and assuming normal peak weather.

16 Residential forecast was adjusted upwards due to
17 the inclusion of 2008 consumption data. Now it grows at a
18 slightly faster rate. Household income increases slightly
19 over the June forecast. Use per household increases
20 slightly. The lighting savings that we talked about here
21 and there reduce per household consumption approximately 5
22 percent in 2011 and beyond, from the 2004 levels. So this
23 is a graph of the revised forecast, the starting points
24 adjusted upward, and the growth after the recovery is
25 slightly higher.

1 Use per household has a short-term decline with
2 some of the conservation programs that are not counted in
3 the model, and it increases slightly after that in the same
4 range as recent history. Household income and PG&E does not
5 -- I am not sure how these charts came out, but kind of --
6 the charts went over the words. The household income does
7 not increase quite as much as it does in the Edison service
8 area, if I remember correctly. But it still is higher than
9 what was projected in 2000 -- in the June forecast.

10 Residential peak is pretty much identical to what
11 we had in the June forecast. And so is peak use per
12 household.

13 Commercial building forecast is higher, it is now
14 similar to the 2007 projection, the new -- the revised floor
15 space is closer to 2007 levels. There is additional
16 conservation which -- I mean, the conservation programs
17 included in the forecast result in a declining use per
18 square foot. And the peak results follow mainly the
19 differences in the consumption forecast. The forecast
20 starts at a slightly lower point, mid-term it is the same as
21 2007 forecast now, and then tapers off toward the end of the
22 forecast period at slightly lower growth rate. And that is
23 driven by the changes in the floor space forecast, which now
24 are closer to the 2007 values than they were to the draft
25 forecast.

1 And use per square foot is essentially the same.
2 In all three forecasts, there is the dip because of the
3 economic downturn in the short-run, but in the long-term,
4 all the forecasts are relatively similar.

5 Commercial sector peak has similar differences
6 that are driven by the consumption forecast, but the peak
7 forecast is somewhat lower than the CED 2007 forecast now,
8 based on our more recent assumptions of commercial
9 contribution to peak. And use per square feet is actually
10 lower now because of our change of assumptions in the
11 commercial contribution to the peak. But the trajectory is
12 relatively the same in all three forecasts, it is just a
13 matter of a different starting point.

14 The industrial sector now has a higher forecast
15 and the same as Edison's more rapid recovery of peak
16 forecast is higher. After this short dip, industrial
17 consumption is projected to be slightly higher than it was
18 in the 2007 forecast now. And peak is much higher based on
19 our estimate of the industrial contribution of peak to the
20 total PG&E system peak. But the trajectory of the forecast
21 follows essentially the trajectory of the consumption
22 forecast.

23 And the other sectors are relatively small and I
24 am just trying to show some of them for completeness. TCU
25 sector, we used a linear trend analysis, whereas we used

1 somewhat different economic drivers than the preliminary
2 forecast. But now the TCU forecast grows at more of a trend
3 rater population. And that is also shown in peak where it
4 is essentially over a year trend in history.

5 The Ag forecast is higher based on some more
6 recent information that we got from PG&E, but more recent
7 history is based on dry forecast years, and the actual
8 forecast is based on normal rainfall years and both the
9 draft and the revised forecast remain relatively constant in
10 the forecast period. And the peak is the same for Ag and
11 Water Pumping, is the same story. We used slightly higher
12 assumptions for the starting point, but a relatively
13 constant forecast.

14 Efficiency savings are similar to what was
15 presented in Edison. It should be pointed out that the gray
16 area is from 1990 to 2008, is actual consumption which is
17 why the gray area goes up and down. The savings appear to
18 go up -- appear to increase and decrease with the forecast,
19 but if you put the savings on the bottom of that graph, they
20 would be continually increasing. What I was trying to do
21 was show what the savings are in relationship to the total
22 forecast and did not want to zero-base the savings. And the
23 same thing for peak. We also have a difference of history
24 in self-generation. In this case, the history is lower
25 based on revised QFER estimates and revised self-reported

1 estimates from self-generation programs. So the assumed
2 starting point is lower than in the draft forecast, but
3 using 2008, the average of 2008, and 2009 installations and
4 applications for installations, we end up with a higher
5 forecast by 2016, by about 200 Megawatts, which provides
6 additional peak reduction. And this is a graph of the
7 difference between the non-PV and the PV reduction on peak.

8 The economic scenarios for PG&E, in the high
9 economic case, both consumption and peak increase around 2.3
10 percent and in the low economic case, they decrease about
11 1.8 percent. And these are the trajectories around the base
12 case for electricity consumption and peak demand. So with
13 that, I will take any questions.

14 VICE CHAIR BOYD: No questions.

15 COMMISSIONER BYRON: I do not have any either and,
16 unless there are any clarifying questions from the audience,
17 let's go ahead and hear from PG&E.

18 MR. ASLIN: Well, hello again. My name is Richard
19 Aslin and I work for the Pacific Gas & Electric Company, and
20 I put on this title "Work in Progress for Discussion
21 Purposes Only," so that is exactly what it is; it is really
22 more just to guide my thinking. I had a couple of days to
23 quickly review the revised forecast, so it is just kind of
24 my initial thoughts, things that I observed. It is going to
25 be sort of similar to what Art Canning had to say.

1 One thing that I was very encouraged by is the
2 development of the econometric models for the major market
3 segments. I think that might help us to at least have some
4 sort of common forecasting methodology that we can look at
5 and start to ask ourselves questions, for example, I am very
6 familiar with things like income elasticity, price
7 elasticity, and things like that, so that is sort of the
8 language that I tend to talk in when I am thinking about
9 forecasting. I have a problem thinking about end-use
10 modeling sort of structures, so I think that will help us.
11 I think it might also help us resolve some of the issues
12 around how much is embedded, what this take back effect is,
13 and things like that. So I am very encouraged by that.

14 I think there still remains a disconnect between
15 the historic period growth rates, especially for commercial,
16 and the forecast period growth rates, and then there is
17 still this disconnect which I pointed out in -- I think it
18 was the last workshop that we had -- between the relative
19 growth rates of residential and commercial in the forecast
20 period versus the historic period, wherein the historic
21 period, they tend to move very closely together, which makes
22 sense to me, they should move fairly closely together.
23 Somehow in the forecast period, they are very disconnected.
24 So I would like to see a little more work done there.

25 I am going to skip point 3 because Chris and Tom

1 were very effective in explaining this to me, so I am just
2 going to skip that for now. And just as Art had mentioned,
3 I am really not going to focus on any sort of comparisons
4 between PG&E's modeling and what are results are and the
5 CEC's revised forecast, because our modeling is different
6 and it is fully mitigated already. Without knowing what
7 this incremental uncommitted amount is, we cannot really
8 compare the two forecasts. Also, our forecast includes
9 electric vehicle projections, it includes some climate
10 change effects, and things like that. So they are not
11 really strictly comparable. I am really just going to focus
12 on things I noticed, that I thought were maybe a little
13 inconsistent internally in the revised forecast.

14 Finally, it would be useful if, at least in one of
15 the tables, the PG&E forecasts could be shown on the sort of
16 what we call the TAC level, so that it would be consistent
17 with the ISO's definition of PG&E. That way, I could look
18 at the historic data, so, for example, the 2007-2008
19 observed. Then I could actually verify, you know, here is
20 another source that says that is what the load was in
21 history.

22 COMMISSIONER BYRON: Mr. Aslin, what was the
23 acronym you used? TRC?

24 MR. ASLIN: TAC.

25 COMMISSIONER BYRON: TAC, which stands for?

1 MR. ASLIN: Transmission Access Charge, that
2 area.

3 COMMISSIONER BYRON: Thank you.

4 MR. ASLIN: So just moving on to the first thing,
5 which I think is probably the most important and maybe the
6 area where there could be some changes made between now and
7 the final forecast. So what I am showing you here is that
8 -- well, first of all, I chose a slightly different forecast
9 period here, so the historic period on this table is 1990 to
10 2007, and the forecast period I chose was 2012 to 2020, and
11 the reason I chose that was it is sort of after, you know,
12 we get into the recovery phase, it is also during this
13 "uncommitted period," so I think the comparisons are a
14 little cleaner there. So what you will see is that, during
15 the historic period, 1990 to 2007, residential average
16 growth -- this is peak that I am looking at here -- was just
17 a little bit over 2 percent, right around 2 percent. In the
18 forecast period, in the uncommitted period, so there is not
19 a lot of energy efficiency programs savings that are baked
20 in here, the growth rate is also around 2 percent. So the
21 forecast period is pretty consistent with the historic
22 period. Then, when we move to the commercial, you see that,
23 in the historic period of 1990 to 2007, the commercial
24 growth is actually 2.66 percent, so it is a little bit
25 higher than residential, actually quite a bit higher when

1 you compound that half a percent over a number of years.
2 Then you go to the forecast period, and all of a sudden it
3 is 1 percent. So it declines by about 60 percent, the
4 growth rate. Residential growth rate only declines by 2.5
5 percent. And I still do not see any reason for that. It
6 seems to me that it should be the case that the commercial
7 growth should be moving fairly similarly to the residential
8 growth over, you know, eight to ten year timeframe, because
9 that is what it has done in history. I just do not
10 understand why there is this big break from the history. So
11 there is a break from the history both in the growth rate
12 for commercial, so the growth rate is less than half of what
13 it was in the history and, also, there is a break in the
14 relative growth rates between residential and commercial.
15 They are moving lockstep in the history and then, all of a
16 sudden, they are disconnected in the forecast. And that is
17 very important because the commercial and Ag together is 40
18 percent of the total peak, but commercial by itself is 30
19 percent of the total peak, so as that commercial growth rate
20 changes, that changes the entire growth rate of the
21 forecast.

22 I am also not really sure about the agricultural
23 growth rate because, here, it is negative, but -- I think I
24 mentioned this last time also -- it seems reasonable to
25 expect that, as we go forward, there is going to be more

1 groundwater pumping in Ag. We already know that is
2 current and we also know that a lot of Ag customers are
3 switching over from diesel and other sort of engines for
4 pumping to electric engines for pumping, though it should be
5 the case that, if anything, the growth rate for Ag should be
6 similar to what it is in history, also. But instead,
7 instead of being positive, it is actually negative.

8 So this chart had some really small print, but all
9 I was questioning here was, so between the draft forecast
10 and the revised forecast, energy consumption in 2018
11 increases by 5.5 percent, but peak consumption only
12 increases by 1.5 percent, and I was not -- I am not sure why
13 that happens. So maybe Chris and Tom can explain why it is
14 that we move from the draft to the revised forecast, energy
15 consumption goes up 5.5 percent, that those same underlying
16 economics and demographics only produced a 1.5 percent
17 increase in the peak.

18 And as I mentioned to Chris, we have some sort of
19 disconnect, I think, on the data for the photovoltaics. So
20 I ran the forecasts by our group that handles the CSI and
21 the SGIP programs, and what they told me was that, in 2008,
22 the installed photovoltaic capacity for those programs was
23 83 Megawatts, and that, thus far, through August in 2009,
24 the installed capacity was 44 Megawatts. And so it was
25 their opinion that it would be very difficult to achieve --

1 what I have here in this chart is I have taken what is in
2 the forecast tables, that is the column that says "CEC
3 Forecast Incremental Peak Reduction," and I have translated
4 that into incremental capacity additions. Now, I did not
5 know they used .5 when I did this, so I used .4; but,
6 nevertheless, the projection here was that the incremental
7 capacity additions for 2009 would be over 200 Megawatts. I
8 think that is what -- 200 Megawatts. And so we are not
9 anywhere near that in 2009, thus far. So maybe we can get
10 together and talk about how that works. And also, if we can
11 get together and talk about the 2008 peak reported because
12 we are a little bit disconnected there, as well.

13 COMMISSIONER BYRON: What do you show for the '08
14 peak?

15 MR. ASLIN: Well, at the PG&E planning area level,
16 I do not show anything because this forecast is on a basis,
17 which is not a basis which either PG&E is using, or the ISO
18 is using, so I cannot actually do that. But I did receive
19 information from -- I think it was Tom -- on what the PG&E
20 service area peak was, and we are off by a few hundred
21 Megawatts. And I think that might have to do with -- there
22 were a number of demand response programs that were called
23 on the day of the peak in 2008.

24 COMMISSIONER BYRON: Mr. Aslin, maybe I
25 misunderstood you, I thought you were referring to your

1 calculated number, 102 Megawatts of installed PV in 2008.

2 MR. ASLIN: Oh, yeah. I was saying that there are
3 a couple of areas where I would like to work with Chris and
4 Tom in order to make sure we have the same source data for a
5 starting point. One of them was the installed photovoltaics
6 for 2008 and 2009, in which we have much lower numbers than
7 what are being showed here. And the other one was that, for
8 the peak forecast itself, the Megawatts of peak at the time
9 of the 2008 peak, we also have a disconnect on what the
10 starting point is there. But my point with this slide is
11 that, you know, if we installed 83 Megawatts of
12 photovoltaics in 2008, and we are at 44 Megawatts through
13 August of 2009, it is very unlikely that we are going to
14 ramp up to installed capacity of 200 Megawatts in 2009, you
15 know, 150ish Megawatts or so in 2010, 2011, 2012, 2013, and
16 2014. PG&E's internal forecasts, what we are using, is 65
17 Megawatts per year of installed capacity just throughout the
18 whole forecast. So, at the end of the day, we end up
19 internally with a reduction to peak in 2020 of 450
20 Megawatts, which is comparable to the 688 Megawatts in the
21 revised forecasts. And I think that 450 Megawatts is
22 probably pretty close to what you had in the draft forecast.
23 Did that answer your question?

24 COMMISSIONER BYRON: Yeah, I followed everything
25 you said.

1 MR. ASLIN: Okay, I am going to skip this
2 because Chris and Tom explained to me how I was misreading
3 this.

4 COMMISSIONER BYRON: Okay, good.

5 MR. ASLIN: So, let's see, just concluding
6 remarks. The revised forecast is definitely moving in the
7 right direction and I think this development of an
8 econometric forecasting model will be very helpful. I think
9 there still needs to be some work done, especially in the
10 commercial segment growth rates for both energy and peak. I
11 think that is still too long, it is very much disconnected
12 with both history, all commercial growth, and the history of
13 relative growth rates of residential and commercial. I
14 think the photovoltaic assumption should be scaled back a
15 little bit more, keep more close to what they were in the
16 draft forecast. And I am very much looking forward to
17 seeing the analysis on what the incremental uncommitted is.
18 I think that will be a big missing piece of the puzzle and
19 will allow us to make better comparisons between the results
20 of the various forecasting models. And that is all I have.

21 COMMISSIONER BYRON: Well, good. Thank you very
22 much. Let's see if we can get some responses from staff on
23 some of your points.

24 MR. GORIN: On the peak disconnect, the 2012 to
25 2020 includes reductions that are approximately 200

1 Megawatts in residential, and 300 Megawatts in commercial
2 self-generation, which served to reduce the peak, that were
3 not included in the 1990 to 2007 time period. And that is a
4 similar explanation for the difference between consumption
5 and the peak chart because the consumption chart is total
6 consumption, which is bundled and direct access sales, plus
7 self-generation. And the peak growth rates are bundled and
8 direct access sales less self-generation estimates. So the
9 peak growth rate is developed by using self-generation as a
10 reduction to peak where that is included in the consumption
11 estimates. So there would be a disconnect between those two
12 and it probably would be better to look at the growth of net
13 energy for load as a comparable growth rate to the net peak,
14 which I believe is 41.2 in our forecast, and we can make
15 some comparisons to that. Also, in commercial, there is
16 more of a 1:1 reduction from lighting savings on peak than
17 there is in residential because we have all the lights on in
18 here, and they will be on probably in peak time of the day,
19 whereas, in residential they are not on as much. So that
20 will cause a disproportionate reduction in peak savings for
21 commercial that is not directly transferrable to
22 residential.

23 The PV estimates, we did use -- the 2009 estimates
24 are actual installations plus applications, which are not,
25 to my knowledge, installed yet. So that could be a

1 difference in the way we are counting things.

2 DR. KAVALEC: Let me just add, for the difference
3 between commercial and residential, there are two other
4 things going on aside from what Tom talked about. The first
5 is the rate increase. That has much more of an effect on
6 the commercial sector than it does on the residential.
7 Commercial energy use in our models is much more responsive
8 to price than is residential. And I should say that is not
9 just our models, most studies tend to show the commercial
10 price elasticity's are higher than for residential. So that
11 is one reason. Another reason is that, in our Economy.com
12 base case, the increases in personal income are relatively
13 large compared to increases in employment. And it is
14 increases in personal employment that drive the residential
15 forecast, where commercial is more reliant on employment.
16 And the third thing is there is more -- a higher growth in
17 self-generation in the commercial sector than in the
18 residential sector, so that affects peak. In terms of --

19 COMMISSIONER BYRON: If I may just for a second,
20 then how do you answer Mr. Aslin's point or question as to
21 why the residential and commercial peak historically have
22 been closely linked? And they are not linked in our
23 forecast. Did I get that correct?

24 MR. ASLIN: Yes, that was an observation that I
25 had made.

1 DR. KAVALEC: Yeah, and my attempt to answer
2 that was to say that the growth in PV installation is much
3 higher in the commercial sector, which affects peak in our
4 forecast. And that was not happening, obviously, in the
5 historical period.

6 COMMISSIONER BYRON: Okay, sorry I did not follow
7 all that. Thank you.

8 DR. KAVALEC: Rich also asked about why our peak
9 was only 1.5 percent higher in the revised forecast versus
10 the draft, and that difference was a lot less than it was
11 for consumption. And the reason for that, as I explained
12 earlier, is that in the draft forecast we made an adjustment
13 upward of the peak forecast in order to account for early
14 indications of peak demand. Had we not made that
15 adjustment, then there would be a much larger difference in
16 peak between the preliminary and the revised. And, yes, I
17 agree we have a big disconnect in the PV case, so we will
18 just have to sit down and have a phone call and take a look
19 at the respective data that we are using.

20 MR. ASLIN: Okay, yeah, that would be great. One
21 thing I would say, for the commercial -- so in our
22 econometric models for long-time lead, we did use employment
23 as a driver of the commercial peak and commercial sales, but
24 we discovered that employment really was not a good
25 indicator because it is just the California economy is

1 becoming sort of less and less energy intensive per
2 employee, so we changed to using something that Economy.com
3 does produce, which is the gross metro product, you know,
4 real output per production for various SICs, which you can
5 map to your models, probably. So I would think it would be
6 worth looking at whether using a driver like GMP actually
7 does close that gap, because GMP and income are actually --
8 they are identical. They have to equal each other over some
9 period of time.

10 DR. KAVALEC: Yeah, let me just add that we do not
11 use employment directly to forecast commercial energy.
12 Employment is used to project floor space. And we still
13 think it is a pretty good predictor of floor space.

14 MR. ASLIN: Right, well, yeah, I very much look
15 forward to talking to you about the photovoltaics, and
16 hopefully we can also get the same number for the 2008 peak.

17 DR. KAVALEC: Okay.

18 MR. ASLIN: Thanks. Thanks very much.

19 COMMISSIONER BYRON: Good, thank you. Good
20 comments, good responses. So are we now pressing on with
21 San Diego Gas & Electric? The staff forecast results for
22 the San Diego Gas & Electric Planning Area in Comparison to
23 SDG&E's Forecast?

24 MR. GORIN: We have a similar story for San Diego
25 that you heard earlier today, 3 percent higher for revised

1 forecast in 2010, 5 percent higher in 2018. We are still
2 5 percent lower than we were two years ago in our forecast.
3 Peak forecast, however, is 2 percent lower, and that is due
4 to increased estimates of self-generation. We have actually
5 the 2010 and 2018 -- I neglected to mention this in the
6 earlier presentations -- the growth rates now in the revised
7 forecast are more similar to what was projected in 2007 than
8 they were in the draft forecast, whereas we had, for
9 consumption, it is 1.4 in 2007, and now it is 1.24 as
10 opposed to our June projection of less than 1 percent for
11 consumption. The consumption forecast is adjusted upwards
12 for inclusion in our 2008 consumption history. After the
13 recovery, the growth in San Diego, however, is similar to
14 what was projected in June, still lower than what you
15 projected in 2007. Peak, the growth rate is relatively
16 similar in all three cases, just the starting points are
17 different. The starting point is lower in the revised
18 forecast based on differences in weather adjusted peak and
19 also increased estimates in self-generation. Per capita
20 consumption is relatively constant after the drop from the
21 current economic conditions. There is a slight recovery and
22 then a slight decline over the forecast period, rather than
23 the constant decline we were projecting in June. Peak is
24 relatively a similar story, although lower because of the
25 self generation estimates. And the load factor now, using

1 more recent data, is essentially the same as we were
2 projecting it in 2007, although it continues its decline at
3 the low end of the recent history, the spectrum of recent
4 history. I will note that the higher load factors in the
5 2000 era are caused by actually cooler weather in San Diego,
6 which reduces the peak in relationship to total consumption
7 because the historic load factors are based on actual
8 weather and not weather normalized.

9 Residential forecast, we adjusted the starting
10 point upward, it grows at a slightly faster rate. Use per
11 household is now projected to increase slightly. Household
12 income is growing faster than it was in June. And there is
13 little difference in the peak forecast because of the
14 inclusion of more self-generation and PV. So this is the
15 residential forecast, it grows -- adjusted from the starting
16 point -- it grows similar to what was projected in June.
17 Residential use per household now projected to grow
18 slightly, although not at the level we were projecting in
19 2007. Household income is between the two forecasts, it
20 grows now -- after the recovery, it is projected to grow at
21 a rate similar to that projected in 2007. And interesting
22 to note that, in the San Diego County service area, there
23 was no short term dip in household income that occurred in
24 other parts of the state. Residential peak, virtually the
25 same for all three forecasts. Residential peak per

1 household, the same story.

2 Commercial sector, the revised forecast grows
3 faster than the draft forecast, extra floor space, use per
4 square foot declines. So this grows at a faster rate than
5 the draft forecast and after the recovery it grows similar
6 -- maybe a little slower than what we projected in 2007.
7 Floor space is higher than what we projected in June,
8 although it does not get to the level that we were
9 projecting two years ago. Use per square foot after the
10 recovery declines because of standards in efficiency
11 programs and lighting savings. Commercial sector peak
12 follows a similar pattern to consumption, where it grows
13 faster than in June, but not to the level that we were
14 projecting two years ago. Use per square foot, PV per
15 square foot is virtually the same in all forecasts.

16 The industrial sector is now higher, which is sort
17 of a broken record for all the service areas, more rapid
18 recovery and the forecasts are now higher than they were in
19 2007. This is the industrial consumption forecast, so the
20 output is projected to be higher in the San Diego area than
21 it was in both 2007 and the draft forecast. This is also
22 adjusted from a higher starting point in 2008, by using a
23 2008 consumption forecast. I did not show this for the
24 other utilities, it is in the report. So basically we are
25 assuming a higher starting point for industrial use per

1 value of dollar output. But the trajectory is the same.
2 You could argue that this may be conservatively high, given
3 the historic trend, but it seems that at some point the
4 increases in productivity are going to have to level out the
5 way we were projecting. Industrial sector peak follows a
6 similar pattern to sales forecasts and is now higher than it
7 was in 2007. I left the other sectors out because they are
8 a very minor portion of the San Diego planning area. They
9 are in the report if anybody cares to read them and needs to
10 get to sleep.

11 The efficiency savings, same story. Self
12 generation reduces the peak about 100 Megawatts, which is
13 the difference in peak forecast, and we worked very
14 diligently with San Diego to be able to revise our self
15 generation estimates of history. These are the savings
16 estimates, similar story to the previous utilities. You can
17 see the difference in self generation, especially in recent
18 history, and this is caused -- this difference came about by
19 San Diego providing us information that we did not have
20 before, and hopefully this is a more accurate representation
21 -- the blue line is a more accurate representation of self
22 generation history in the San Diego service territory, and
23 it agrees with what San Diego is using in their forecast.
24 The forecast of PV and self generation is based on similar
25 methods to the other utility planning areas where we used

1 2008 and 2009 installations and applications. And so now
2 history looks a lot smoother than it did in the preliminary
3 forecast, there is no peak and valley in history, and
4 hopefully it is a better forecast.

5 Economic scenarios -- consumption and peak on the
6 high case go up about 1.7 percent, and in the low case go
7 down about 2.1 percent. So there is less upward movement in
8 the San Diego area compared to some of the other utilities.
9 And the downward movement is about the same. So with that,
10 if there are any questions or response from San Diego.

11 COMMISSIONER BYRON: Thanks, Mr. Gorin.

12 MR. VONDER: Hello. My name is Tim Vonder with
13 San Diego Gas & Electric Company. And I would like to say
14 that, as far as the staff's forecast and the way it turned
15 out, we really have no major problems with the way it is
16 right now. We spent our time and our effort, a lot of time
17 and a lot of effort, between the preliminary forecast and
18 the revised forecast, working with staff on mainly data
19 issues, helping them on the starting point of the forecast
20 because we wanted their forecast to reflect the 2008 actuals
21 and, like Tom said, we worked with them on getting other
22 data correct like self generation and weather data, and so
23 on and so forth. So I think our efforts so far have paid
24 off. We have come a lot closer together in terms of working
25 with the same data. But I think from this point, going

1 forward, there is still going to be a lot of work to be
2 done, and some of the things that Edison has said, and PG&E
3 has said, concerning uncommitted, I believe is really
4 important. And, as we approach the next phase of our
5 forecasting efforts, that is, working toward moving to the
6 long term -- the LTP process, and at that point, the
7 uncommitted and the energy efficiency goals will come into
8 play, and that is going to be an important step and we want
9 to work hard to ensure that that is correct. I mean, like
10 Chris mentioned, there is still some issues when we take a
11 look at the goals in the future, some adjustments are going
12 to have to be made because, currently, there is some overlap
13 in the demand forecast such as lighting, as he pointed out,
14 and there is also the realization factor that we have
15 noticed in the past through these evaluation studies, and
16 currently staff is using the 70 percent realization factor,
17 so when we consider the goals, I am sure we will want to
18 consider if they should be adjusted for a realization
19 factor, too.

20 And then, I think there are differences due to
21 timing. The new goals are going to start -- what -- the
22 2010 to 2012, and in the forecast here, there seems to be
23 some overlap with committed going all the way to 2011, so I
24 think minor adjustments are going to have to be made somehow
25 to put the two in sync. So, anyway, I guess what I would

1 like to say is so far so good, but there is probably a lot
2 more work to do from this point to the next, and we are
3 certainly willing to help all we can and do our part.

4 COMMISSIONER BYRON: Good. Thank you. Any
5 response from -- I was intrigued to see household income on
6 the San Diego Gas and Electric service territory has not
7 been affected greatly. I wonder if that contributes to your
8 general satisfaction with these forecasts. You have to come
9 to the microphone, please, if you want to respond. And I am
10 glad to see that, by the way.

11 MR. VONDER: I really cannot comment on that one
12 other than my own wallet, and I would say there is an
13 effect. No, I am sorry, I cannot get into detail on that
14 one.

15 COMMISSIONER BYRON: Well, good.

16 VICE CHAIR BOYD: Next.

17 COMMISSIONER BYRON: If there is no further
18 questions there, we will continue on. Am I correct to
19 assume the next one is the Sacramento Municipal Utility
20 District, Staff Forecast Results for the Sacramento
21 Municipal Utility District Planning Area and Comparison to
22 SMUD's Forecast.

23 MR. GORIN: These are actually our results and we
24 did not make comparisons with the utility forecast. We will
25 leave it to the utility forecasters to speak to our

1 forecast. Actually, SMUD is a little bit different.
2 Economy.com was not as kind as Sacramento County as the rest
3 of the counties. They must have realized there was a few
4 state workers here.

5 COMMISSIONER BYRON: Yeah, it is all those state
6 employees dragging down that income.

7 MR. GORIN: So this forecast is lower than our
8 draft forecast by 4 percent, but it recovers to 3 percent
9 lower by 2018, and the economic forecast is the major driver
10 of that. And the forecast is 8 percent lower than our 2007
11 forecast. The peak forecast is similar to the draft
12 forecast, but that is still 7 percent lower than we had two
13 years ago. And the growth rate from 2010 to 2018 are lower
14 -- they are higher than the draft, there is a bigger drop in
15 our projection from 2008 to 2010 than there was in the draft
16 forecast. So this forecast for SMUD is lower than previous
17 two forecasts. Peak forecast is relatively the same, a
18 slightly lower starting point based on historic peak. Per
19 capita consumption is way down in the starting point,
20 recovers, but declines slightly, the same basic pattern in
21 some of the other utilities, although probably a greater
22 drop to 2010 from current levels. Peak is the same because
23 we figure that people are still going to use their air
24 conditioners when it is hot because that is what they have
25 them for. And the load factor is relatively constant and

1 does not decline very much, mainly because SMUD is pretty
2 much saturated in their air conditioning loads compared to
3 the other utilities.

4 Residential forecast is lower. After the
5 recovery, it grows at a slightly faster rate. Residential
6 forecast is projected to take a slightly lower drop than it
7 was in the June forecast, and a lot lower than was projected
8 in 2007 because there is a difference in household income
9 projections. And some of this may be the way, in 2007, we
10 computed household income, but this is still a big drop from
11 what we are projecting in 2007 and it is a drop from what
12 was projected in June using the December 2008 Economy.com
13 projections.

14 COMMISSIONER BYRON: Big does not quite cover it.
15 That is enormous.

16 MR. GORIN: Oh, it is a function of scale on the
17 graph. But you are right. And that translates to a drop in
18 use per household, although with the efficiency programs, it
19 still drops, but it gets in -- after the recovery, it is
20 relatively constant. SMUD has a lot of efficiency programs
21 that are working to temper growth in use per household. On
22 consumption and residential peak, it is similar to the
23 previous forecast and peak use per household would be
24 similar to previous forecasts also. Commercial forecast is
25 the same similar story to residential, it is lower in the

1 draft. There is a lower starting point because I think we
2 assumed a short term vacancy rate of commercial buildings,
3 and that is also reflected in the peak forecasts, so there
4 is a drop in commercial consumption in the near future, but
5 it recovers to grow at a similar rate to the draft forecasts
6 after about 2014. Floor space, which is probably the only
7 service territory that there was no precipitous change in
8 the floor space projections and it is due to the economic
9 drivers that we used. Commercial sector peak starts
10 slightly lower than the draft forecast.

11 Industrial sector, which is a relatively small
12 portion of SMUD, is lower because of inclusion of the 2008
13 data that start the forecast with -- and it has a similar
14 recovery that was built in to the draft forecast, but the
15 long term growth was somewhat flatter than the draft
16 forecast. Industrial sector peak is lower than the draft
17 forecast, follows the same pattern as the consumption
18 forecast. Savings for SMUD are a little bit higher than
19 most of the other utilities, and I was scratching my head as
20 to why that was, and they have utility programs that are
21 fairly aggressive. And the Building and Appliance Standards
22 for SMUD are affected by ancient history in that SMUD had
23 the highest rate of electric heat in California when Rancho
24 Seco was going to run forever, and so they had a high
25 incidence of electric baseboard heat, which got turned into

1 heat pumps, so that is an artifact of the way we calculate
2 savings and assume that we did not get any smarter since
3 1975, so you have an effective 50 percent savings for
4 electric heating, and you do not have as much of a
5 percentage -- as high an incidence of electric heat in other
6 service areas.

7 The economic scenarios for SMUD, on the up side,
8 they increased about 2.1 percent; on the down side, they
9 decreased about 2 percent, and relatively similar to the
10 other service areas. I would have thought there would be a
11 higher up side to SMUD, but apparently it is kind of a
12 universal agency, both Global Insight and Economy.com have
13 similar opinions. So, with that, we have a representative
14 from SMUD here. Do you have any questions?

15 VICE CHAIR BOYD: No questions. I just got
16 suckered into buying a heat pump about 20 years ago.

17 COMMISSIONER BYRON: Do you prefer to have your
18 electric resistance heating?

19 VICE CHAIR BOYD: I blew it up about five years
20 ago.

21 COMMISSIONER BYRON: So let's go ahead and hear
22 from our SMUD representatives, then.

23 MR. TOYAMA: Good afternoon. I am Nate Toyama
24 from the Sacramento Municipal Utility District. There are
25 copies of this presentation outside, as well. When we first

1 started the earlier -- in May or March when we first
2 submitted a forecast, we had already had somewhat of a
3 recession forecast anyway that we were getting from our
4 forecasters who used Global Insight, and so much of our
5 forecast had already included a recession component in it.
6 We tend to look at recession in two distinct manners, one is
7 a slow growth in our customer base, which we are seeing now,
8 and a second component being a reduction in average energy
9 use and in peak use, which we are also experiencing, as
10 well. However, when we did the forecast, it was back in
11 March, and we are currently updating our forecast for SMUD's
12 2010 budget, but that will not be available for a month or
13 so, or a couple months and it is approved by our Board. And
14 so, when I looked at the more recent forecast by Tom, it
15 still has some interesting components in the sense that the
16 CEC forecast is still a little bit above SMUD, probably
17 about 5 percent, and this is a peak demand forecast. The
18 most recent changes made in the more immediate forecast are
19 very comparable, in fact, they are almost identical, it is
20 going -- it is the recovery that we differ, and in the
21 recovery we begin to recover in 2011, with a slow recovery,
22 then by 2011-2012, almost a full recovery. And this is sort
23 of, at least for our economic consultant, this seems to be
24 the consensus among them, as well as some other consulting
25 firms in California. This is peak, the same is true for

1 energy. This is sales. One thing about the sales, and
2 these numbers I pretend are here -- I tried to make the
3 CEC's forecast comparable with SMUD's forecast. We have
4 some differences in the way that we present these numbers,
5 but in general they are fairly close. This is very similar
6 to the peak, except that the CEC's forecast has a fairly
7 large drop in 2010 in terms of energy use. We see drops in
8 our commercial class, but it is partly related to recession
9 and it seems to be more of a business cycle trend that we
10 are observing. We had not seen much of a drop at all in
11 residential energy use. And I think that our conclusions
12 are basically that, even though we are seeing slow growth
13 and perhaps some vacancies in our residential rental market,
14 people have to go somewhere. And after moving back home, or
15 moving in with their parents, or with friends, we certainly
16 note that energy use is highly related to the per capita
17 energy use, and so we had not seen a statistically
18 significant reduction in our residential use, which keeps
19 that number for '10 not as low as the CEC's, it is still
20 low, at least compared to last year, but it is not as low.
21 I think on a calculated day reduction over 2008, it was
22 about a 3 percent. We are projecting about a 2 percent
23 reduction in energy use for 2010 over our previous forecast.
24 The final slide I have is the way we like to characterize
25 our energy efficiency and our PV savings. What I did was I

1 took the numbers from Table 5.2 in the draft, 5.3 in the
2 PV savings, which were Tables 1.2 and 1.4 in the report.
3 What I did here was I annualized our savings because that is
4 sort of the way we keep track and the difference really --
5 or at least part of the difference that I can tell between
6 the CEC's forecast and SMUD's forecast, relate to the
7 annualized savings going forward. In Table 5.2 for energy
8 -- or this is retail sales -- we see an annualized savings
9 roughly in the 70-85 Gigawatt hours per year. From our
10 experience, at least the last two years, we have seen about
11 130 Gigawatt hours per year. Going forward, we expect to
12 reach in the future anywhere from 140 to perhaps 200
13 Gigawatt hours per year on the energy side. For the peak
14 side, we see the same thing. We have the annualized savings
15 going out from 2011 to 2015, to 2020, roughly in the 20 to
16 about 20 Megawatts a year. From our program participation,
17 we are seeing roughly about anywhere from 30 to 35 Megawatts
18 a year in our peak savings, so, again, substantially more
19 than what the CEC is giving SMUD in the forecast. And,
20 finally, the PV savings, as well, are much lower than what
21 we have in our forecast. Looking at the incremental savings
22 for PV, we are looking at maybe 4-5 Megawatts a year in PV
23 savings -- peak savings, by the way -- as opposed to the 1
24 Megawatt a year that CEC is calculating in their forecast.
25 On the energy side, for incremental savings, CEC has about 3

1 Gigawatt hours a year, we expect that to be more like 10
2 Gigawatts a year. And so, again, much smaller than what we
3 are using in our forecast. So anyway, I am thinking that
4 these might explain about the 5 percent difference that we
5 are observing in both the peak and energy forecast as we go
6 out to 2020. When I looked at these slides that Tom
7 presented, it looked pretty closely to our last year's
8 forecast where we were looking at fairly flat usage on a per
9 capita basis, or on a per customer basis, for both energy
10 and peak. But now, with SMUD's aggressive programs in
11 energy efficiency, we expect the energy use per customer,
12 both on the capacity side, as well as the sales side, to
13 decline slightly over time, even with the recession going
14 on, which we expect to see. When we recover, it will still
15 be lower than what we observe now. Anyway, that is my
16 presentation. I would like to entertain questions if anyone
17 has any.

18 COMMISSIONER BYRON: Mr. Gorin, care to respond to
19 the differences that Mr. Toyama pointed out?

20 MR. GORIN: Well, I think one of our objectives
21 over the next cycle is we are going to work more closely
22 with the POU's to reconcile the deficiency programs and, you
23 know, working more closely with SMUD to maybe track their
24 proposed savings better than we have in the past. But it is
25 kind of nice to be higher than somebody for a change --

1 maybe.

2 DR. KAVALEC: Hi, Nate. Let me just ask, it looks
3 like you are including first-year savings beyond 2009 there.
4 The savings that you show there, you are including first-
5 year savings beyond 2009, right?

6 MR. TOYAMA: Right.

7 DR. KAVALEC: And so that is a big difference, at
8 least as far as the totals that we stop -- we consider 2009
9 the last committed year, and so that all we have after that
10 is peaking savings from 2009 to previous years.

11 MR. TOYAMA: Right.

12 DR. KAVALEC: So I just wanted to make that point.
13 And the other point was I would like to talk to you about
14 the assumptions you are making for the PV systems, and what
15 information you are using. So maybe we can have a phone
16 call some time real soon?

17 MR. TOYAMA: Right. Yeah, in looking -- reading
18 the document, I mean, it is clear that what the differences
19 are in terms of how you account for our programs, and so if
20 we were to have a similar accounting method as you, or if
21 you were to adopt our programs or our intended goals and
22 plan, they would be very similar. Like you said, I looked
23 at this 2010, 2020, are the incremental savings going back
24 to the beginning of 2010, and when we look at our goals, our
25 goals for energy is about 1,400 Gigawatt hours, so that

1 would explain the differences by 2020. For Megawatts, we
2 are looking at about 400 Megawatts for savings.

3 DR. KAVALEC: Right.

4 MR. TOYAMA: Which would put you right about -- or
5 which would make our forecast practically identical for all
6 practical purposes.

7 COMMISSIONER BYRON: Okay, thank you.

8 MR. TOYAMA: Thank you.

9 COMMISSIONER BYRON: Thank you, Mr. Toyama. So I
10 think we are going to press on to the last of the staff
11 forecast results for the Los Angeles Department of Water and
12 Power Planning Area and Comparisons to LADWP's Forecast.

13 MR. GORIN: I think we have a representative from
14 LADWP on the phone, Michael Cockaigne, is that correct?

15 MR. COCKAIGNE: I am on the phone, but I was told
16 not to speak today.

17 COMMISSIONER BYRON: Well, that certainly did not
18 come from us, Mr. Cockaigne, so if you wish to speak, we
19 will be glad to hear from you, otherwise we will go ahead
20 with Mr. Gorin's presentation.

21 MR. COCKAIGNE: Okay, thanks.

22 MR. GORIN: I am going to try and go through this
23 relatively quickly so everybody can get home. We did some
24 more extensive work on LA and looked at some of the
25 population and assumptions we were making for the City of

1 Los Angeles, and as a result, the forecast is about 2
2 percent higher in 2010, increases to 7 percent higher in
3 2018, and now the revised forecast is back to the 2007
4 levels by 2018 and the peak forecast is actually 2 percent
5 higher than the draft. For 2010 to 2018 growth rates, we
6 actually doubled the growth rates that we had in the draft
7 forecast, although the forecasted growth is still below 1
8 percent for both peak and energy, and it is also higher than
9 it was in 2007. So after the short term decline, we have
10 now a higher growth rate than we had in both 2007 forecast
11 and the draft forecast and the new revised forecast is
12 actually higher than it was in CED 2007. Same story with
13 peak forecast, it is now increasing higher than both the
14 previous forecasts. Per capita consumption, after the
15 projected dip in the near term, relatively constant over the
16 forecast period, rather than declining as it was in the
17 draft forecast. Peak is now more similar to what was
18 projected. Per capita peak is more similar to what was
19 projected in 2007 than in the draft forecast.

20 The load factor is slightly increasing rather than
21 relatively constant as in the draft forecast. This has to
22 do with the mixture of assumed end use -- peak end uses --
23 or sector peak differences in the LA planning area, compared
24 to the draft forecast.

25 For residential forecast, higher forecast caused

1 by higher income. This next point is a little convoluted,
2 but we reduce the persons per household assumptions which
3 adds more households, given similar population, and so that
4 increases use because there are more households and the use
5 per household increases because there is more income per
6 household. So the residential forecast now rose at a faster
7 rate than both previous forecasts. Household income after
8 the relatively flat near term grows at a rate similar to
9 that of the 2007 forecast now. Persons per household, we --
10 and this is a minor decrease in persons per household by
11 about a 100th of a person per household, but you start
12 multiplying that by millions and is kind of like currency
13 trading, it increases the number of households four-tenths
14 of a percent. As you can see, in 2007, we were projecting
15 flat household growth, which we are not projecting anymore.
16 Residential use per household, we increased that based on --
17 increased the starting value based on more recent inclusion
18 of the 2008 data, but the greater household income drives
19 that up at a level comparable to -- the growth rates
20 comparable to what we had seen in 2007. Residential peak is
21 also higher, driven by consumption differences.

22 The increased floor space projections for LA,
23 commercial building sector, is now projected -- well, after
24 a short term decline, it grows at the rate it did in 2007.
25 Commercial floor space projections now are essentially what

1 they were in 2007 and a little bit higher in the forecast.
2 Commercial peak grows similar to what the consumption
3 forecast results grow at.

4 Industrial sector, same story as the industrial
5 sector in most of the other utilities, more rapid recovery,
6 and the peak and energy forecasts are now higher than they
7 were projected to be in 2007 after about 2013. So short
8 term dip and a greater recovery from consumption in peak for
9 the industrial sector in LA. Energy savings are similar to
10 the other utilities, although there are less utility program
11 savings currently in LA than in a lot of the other utilities
12 in the peak savings.

13 The economic scenarios, there is slightly more
14 variation in LA. The consumption and peaking high case is
15 about 2.3 percent on the upside, in the low case, it is
16 about 2.5 percent. So basically one of the greatest
17 questions in the LA forecast is the migration of the
18 population in the South Coast from the Edison -- projecting
19 what is going to happen if people from the Inland Empire are
20 going to move into the City of Los Angeles, so it makes it
21 rather difficult to project LADWP. Well, it might be a
22 minor impact on Edison, it is a much larger impact on LA.
23 So there are a lot of population pattern questions that are
24 yet to be answered.

25 COMMISSIONER BYRON: Are you suggesting they are

1 moving to Los Angeles for lower utility rates?

2 MR. GORIN: No, I am suggesting that they may work
3 in Los Angeles, and they do not want to spend all that time
4 driving, and there is a rather high foreclosure rate in the
5 Inland Empire right at the moment. So there are a lot of
6 unanswered questions that are yet to be determined there.
7 So if Mr. Cockaigne wants to say anything about our
8 presentation, it is open.

9 MR. COCKAIGNE: Well, I will just say that this
10 latest forecast is closer to what we are doing internally.
11 That makes me pretty happy. I think a lot where we come
12 together is in the demographic, the household growth. I
13 totally agree that the big question is the migration issue.
14 The recent pattern is that the city is growing faster than
15 these other areas, but that could be an economic blip, and
16 not a long term trend. In fact, I talked to, for example,
17 Los Angeles Economic Development Council and they think it
18 is a blip, that the traditional migration pattern will be
19 [inaudible] traditional path. So very difficult to forecast
20 that. Like I say, in recent years, the growth has been
21 coming back into the city, so I think the earlier issue on
22 the EE forecast that I saw earlier, I currently have the PVs
23 in my forecast, what the forecaster is showing would be
24 above my forecast, so how that plays out will be interested.
25 And also, I think on the energy efficiency issue, my issue

1 there, you are showing low utility programs for LADWP, but
2 actually we have quite an aggressive program going. My
3 issue on energy efficiency is, the first three years are
4 pretty well known, once you get started entering 2013, you
5 are relying on technological change a lot, and capturing
6 that energy efficiency. So it is really getting the timing
7 and the amount of energy efficiency going forward, it is
8 really going to be something that is very difficult to
9 forecast. And that is really all I have to say.

10 COMMISSIONER BYRON: Mr. Cockaigne, thank you for
11 not speaking, then, this afternoon. Those are helpful
12 comments. We appreciate that.

13 MR. COCKAIGNE: Okay.

14 COMMISSIONER BYRON: Any response, additional
15 thoughts? Okay, thank you. Are we still accepting some
16 written comments with regard to this latest forecast,
17 gentlemen? Or are we done accepting comments?

18 MS. KOROSEC: We are accepting written comments
19 until October 2nd.

20 COMMISSIONER BYRON: Good, I was hoping that was
21 the case. All right, thank you. I think we are down to the
22 last presentation of the afternoon before public comment, if
23 there is any. Am I correct?

24 MS. KOROSEC: Yes.

25 COMMISSIONER BYRON: Update on Uncommitted

1 Forecast. Dr. Jaske.

2 MS. KOROSK: Yes, Dr. Jaske.

3 DR. JASKE: Good afternoon. For the record, Mike
4 Jaske with Energy Commission staff. I am giving you a brief
5 status report or update on the incremental uncommitted sub-
6 project. Just a little bit of background, currently the
7 activities that are underway today, and then, lastly, the
8 schedule.

9 So, of course, the genesis of many of these
10 questions about energy efficiency was in the 2006 LTPP
11 proceeding at the PUC. We had been working closely with the
12 PUC since then to try to deal with this and really carrying
13 along two fronts, improving energy efficiency that is in the
14 demand forecast, and then determining what is incremental
15 beyond that, as a result of further program activities. It
16 has been a variety of things that modify the forecast,
17 sometimes intrinsic to the models themselves, such as
18 creating residential lighting end use and the input
19 assumptions for that end use, and then, as has been
20 explained in a lot of detail today, and in the discussion, a
21 lot of analysis of energy efficiency measures and savings
22 outside of the models that have essentially been subtracted
23 off the raw forecast to produce the final result. And as
24 has earlier been indicated, PUC is planning on using a
25 managed forecast for the 2010 LTPP Proceeding, and the

1 Energy Commission is sticking with its distinction between
2 committed and uncommitted, so therefore that requires a
3 separate effort to produce an uncommitted analysis that is
4 truly incremental. And if there is any lesson that has been
5 learned in the years since we have had workshops and
6 discussions on this subject, it is that producing that
7 incremental impact is completely dependent upon the base
8 forecast and how it treats energy efficiency. So part of my
9 message in the status report is to say that we are still
10 looking at the majority of this work as being in front of us
11 because there have been so many changes in the base
12 forecast, both in the preliminary version documented in May,
13 and discussed in workshops, and then again in this revised
14 forecast. So it is only just now that we are sort of
15 letting all of that stabilize and therefore have a
16 foundation for computing the incremental part.

17 So to remind you, we are going to quantify the
18 impacts of various scenarios adopted by the PUC in their
19 goals study and the corresponding decision. In the DFEEQP
20 Working Group meeting that we had last week, the PUC staff
21 asked that we evaluate all three of the futures that were
22 included in the goals study and adopted in the decision.
23 Formerly, they had been asking that we just do high and mid,
24 and they are now asking that we also do the low case. We
25 believe we have the resources with the support that they are

1 providing through Itron to do that, so we are proceeding
2 on that basis.

3 Broadly speaking, we need to adjust those
4 scenarios to remove the things that are embedded now in the
5 base forecast, I believe Mr. Aslin referred to this kind of
6 adjustment, and then any other things that are sort of
7 thought of as though they were policies or programmatic
8 elements of the forecast, and the most obvious example of
9 that are the Huffman bill and/or federal lighting standards.

10 So we are preparing a product that is being
11 developed for use by the PUC, they are going to ask their
12 IOUs and perhaps consultants to IOUs to evaluate portfolios
13 of resource additions, in light of these different
14 influences on the base demand forecast. We are very heavily
15 relying upon the good auspices of the PUC to make Itron
16 staff in their modeling capability available to us. This is
17 going to be sort of the starting point of Energy Commission
18 staff, the development of capability in this area, and we
19 are in fact laying the groundwork now for sort of a
20 transition period where we actually hire Itron to help train
21 us on this model and the necessary inputs. Whether we stick
22 with this in the longer run is not clear, but we want to
23 have a capability that we can run ourselves. And, in
24 particular, we are using a model to develop Itron called
25 SESAT. As I indicated before, there are various ways that

1 that model needs to be adapted to make its assumptions
2 consistent, econ demo and saturation inputs being one of
3 those, adjust for the programmatic things that are in the
4 forecast, and then of course there is a whole set of measure
5 savings that are not in the models, but being used to adjust
6 the raw model forecast in order to actually produce the
7 revised forecasts be put forward for your consideration.

8 COMMISSIONER BYRON: Dr. Jaske, care to tell us
9 what SESAT stands for? SEASAT?

10 DR. JASKE: I do not think I actually know that.

11 COMMISSIONER BYRON: I thought maybe it had some
12 meaning.

13 DR. JASKE: I suspect it does have meaning, but I
14 am sorry I cannot describe it to you. Oh, here is a typo,
15 so having updated the projection in the input assumptions,
16 we are going to run SESAT for each of three scenarios, not
17 two scenarios, as it says on this first bullet. We will
18 then compare the results of that scenario to the revised
19 forecast, and then the difference becomes the incremental
20 effect of that particular scenario. We will have three of
21 those. Itron will develop a technical report that documents
22 the methods, the assumptions and, of course, the results
23 themselves.

24 What we are thinking of at this point is that we
25 will construct a sort of combination product, a staff report

1 that lays out the background of why we are tackling this
2 issue, how it came up in the '06 LTPP Proceeding, the fact
3 that the PUC has asked us to look into this, provide a brief
4 overview of the approach we are using and whatever
5 limitations we think are germane, and how we suggest that it
6 be used in further work, and then attach the Itron document
7 as an appendix to that staff report.

8 So broadly speaking, this is where we are in the
9 middle of the slide, September 2009, we are hoping that we
10 can produce the remainder of this project on something like
11 this schedule, so a draft report in the first part of
12 December, a workshop some time in either later December, or
13 the very beginning of January, and then a final report no
14 later than the end of January. This schedule is acceptable
15 to both CPUC staff, but not later than this.

16 Now, this concludes my slides, but I want to draw
17 one particular thing to the Committee's attention, and that
18 is this clearly follows the adoption of the IEPR itself, and
19 the Draft IEPR which is in preparation, you know, will not
20 be able to include all these final results. The Draft IEPR
21 describes this, that is underway, what it is intended to
22 accomplish, but of necessity, the schedules simply do not
23 match. When the Committee brings forward the IEPR to the
24 full Commission, I think we need for the Committee to be
25 granted some sort of trailer responsibilities and authority,

1 I am not sure how to describe that, but this project, and
2 perhaps there are other things that the IEPR Committee needs
3 to provide oversight to, on behalf of the full Commission
4 even though it will be after the adoption of the '09 IEPR
5 itself. And somehow the IEPR staff and Committee need to
6 work out precisely how that gets accomplished, but PUC staff
7 would like this to have some degree of blessing by the
8 Commission, and so it seems like the oversight of the IEPR
9 Committee makes the most sense since you have been hearing
10 this story over and over many months now, and our best
11 situation to say whether ultimately what we produced does
12 pass muster. But with that, I conclude, and I would be
13 happy to answer any questions.

14 COMMISSIONER BYRON: Thank you, Dr. Jaske. You
15 did answer the question with regard to the 2010-2011 LTPP
16 order instituting rulemaking the PUC is doing, that they set
17 the schedule as long as it is no later than January Final
18 Report published, correct?

19 DR. JASKE: That is correct.

20 COMMISSIONER BYRON: And if I follow you, you are
21 looking for some continuity in oversight on the part of this
22 Commission to see this work through, even though we will
23 finish the IEPR and seek approval of that IEPR from the full
24 Commission in early December.

25 DR. JASKE: That is correct.

1 COMMISSIONER BYRON: I think that makes really
2 good sense. We will likely have committee assignments in
3 January, but I will be more than happy to make that
4 commitment and provide this continuity on this topic into
5 2010. However, this does remind me of a song, and a book,
6 and a movie from 20 years ago, you may recall it, my
7 children were certainly interested in it, it is called "The
8 Never-Ending Story," it was very popular amongst 8-year-
9 olds.

10 DR. JASKE: Well, I think that there are
11 definitely some parallels. I believe I probably stood at
12 this podium about a year and a half ago, somewhere around
13 March 2008, and said we would take a crack at this project,
14 but we would make only as much progress as we could make,
15 and it was my speculation that we would not fully resolve
16 this issue in this IEPR cycle, and I think that is
17 undoubtedly going to prove to be the case. I should also
18 say that we are, as Ms. Horwatt indicated before on other
19 matters, we are anticipating sunshining some more detail
20 than I have been able to show here about our methodology and
21 assumptions in future DFEEQP Working Group meetings, so that
22 particularly the IOU representatives who, of course, have a
23 vital interest in what this product ultimately looks like,
24 have an opportunity to get into the details along the way.

25 COMMISSIONER BYRON: Good, so you have some of

1 those scheduled, as well, over the next couple of months?

2 DR. JASKE: I think we actually have one for about
3 the middle of October already scheduled.

4 COMMISSIONER BYRON: All right, thank you. I have
5 no further questions. I would like to go ahead and open it
6 up, then, to public comment. We welcome any and all public
7 comment at this time if there is something you wish to add
8 from earlier presentations, or anything in general to this
9 topic. Ms. Horwatt?

10 MS. HORWATT: Hi. This is Andrea Horwatt again,
11 and I just wanted to express my great empathy with the
12 position that Dr. Jaske finds himself in. This is an
13 incredibly difficult issue to grapple with and, having been
14 in and out of this issue for a number of years, I fully
15 appreciate why it is taking the amount of time that it is
16 and the level of resources because it is extremely
17 difficult, it is important, and I think it also opens our
18 eyes on the fact that we are going to have many many
19 difficult measurement issues going forward in a planning
20 context because, now, in addition to IOU energy efficiency
21 programs, we will now be seeing the impact of advanced
22 metering programs, and that will affect the measured level
23 of savings. We are getting interactive effects with
24 integrated DSM programs. All of this stuff comes together
25 in a very big complex measurement activity, and it is

1 setting the stage for something that is going to be
2 continuing for a long time, and I think it is going to take
3 some very smart folks at all the regulatory commissions, the
4 IOUs and the POU's, to try to wrap our brains around how we
5 are going to do this. And we look forward to being part of
6 this interesting challenge.

7 COMMISSIONER BYRON: Good. Thank you for your
8 constructive comments. Resources are always in short supply
9 around here these days, but we always give the tough tasks
10 like this to Dr. Jaske.

11 MS. HORWATT: Good idea.

12 COMMISSIONER BYRON: Any other comments? Dr.
13 Ferguson, are you still with us?

14 DR. FERGUSON: Ah, there it is. Yes, I am still
15 with you, believe it or not.

16 COMMISSIONER BYRON: Did you want to comment at
17 this point?

18 DR. FERGUSON: I did. I sent out a file last
19 week. I wonder if we could put a chart up.

20 COMMISSIONER BYRON: They are working on it.

21 DR. FERGUSON: There it is. Somehow the June
22 draft report escaped RETI's attention. When it was finally
23 called to our attention, it had significant results for RETI
24 planning, so I am very interesting now in the update. I am
25 going to make a request because I do not trust these numbers

1 that I have in my slide, and it would be very nice if we
2 could get some help from Energy Commission staff doing this
3 de rigueur. Of course, what the demand forecast means for
4 transmission planning is considerable. To date, we have
5 been using the IEPR of 2007 long forecast which the
6 Commission staff kindly projected out to 2020 for us. The
7 RETI planning to date grew phased away is relatively
8 insensitive to the consumption forecasts, but now we get
9 into detailed planning together with the CCPG, it is just
10 going to be important. What we need to know is what, you
11 know, given any particular consumption forecast, what the
12 amount of grid connected renewable energy that needs to get
13 added in the 33 percent of the requirement which is what
14 RETI is using. But also, we need to know how much non-
15 renewable energy, presumably fossil, is going to be
16 displaced in the process. And I tried to do these
17 calculations as best I can for several different scenarios.
18 The blue bars represent the amount of renewable energy that
19 needs to be added to the Grid over and above our estimate of
20 2008 levels, in order to meet the 33 percent RPS requirement
21 interpreted as to mean 33 percent of retail sales. The
22 green bars represent the presumably fossil, or non-renewable
23 energy that would be displaced in the process. The bars on
24 the right-hand side are what we have been using. And as you
25 can see, in that forecast, consumption grew substantially

1 and much of the renewable energy was to fill load growth,
2 a relatively small amount would be displaced. And to tell
3 you the truth, RETI has not really focused on this displaced
4 energy. Are these imports that are going to decrease? Are
5 they once you retire once-through cooling plants? Or
6 exactly what they are really has not been discussed. But,
7 as you can see, it is a relatively small fraction, so we
8 have been focused primarily on what it would take to put
9 that renewable energy online. The left-hand bars represent
10 a no growth scenario, and I remind you that our self
11 generation forecast is different from yours, so, in fact,
12 because of the self generation, there is a actually more
13 fossil generation displaced than the grid connected
14 renewable energy, and that is the difference in those two
15 bars. The next step in the June 2009 low rate case was what
16 was around and in the executive summary of the draft report.
17 As you can see, there is some growth and we do not displace
18 quite as much fossil. In the most recent update, which I
19 guess is now a mid-rate, the consumption goes up some more,
20 so the amount of displaced fossil goes down. I through in
21 an intermediate case there. And then you get back to the
22 one we used.

23 COMMISSIONER BYRON: Is that the unlabeled case
24 that shows 33,048?

25 DR. FERGUSON: It was just one in the middle

1 somewhere that I stuck in. I do not think it corresponds
2 to anybody's particular --

3 COMMISSIONER BYRON: All right.

4 DR. FERGUSON: The reason I think a term like this
5 is valuable is because, after all, it is those green bars
6 that we are trying to get by building transmission and
7 incorporating renewables to make the blue bars, and we get a
8 lot of flack for considering building power plants in the
9 desert and all that, and the green bars is the reason we are
10 doing all that. Of course, if we did not do any renewables
11 at all, it would all be fossil, and we would get no
12 displacement whatsoever. But that -- the goal of this whole
13 exercise is to try to reduce greenhouse gas emissions and
14 that is somehow related to the green bars, depending on
15 whether it is coal or gas that is displaced. At any rate, I
16 know some of these calculations are going on now. I am
17 talking to staff, some of them may be going on in the Energy
18 Commission and in the ARB, and various working groups. I
19 would strongly recommend that we include a chart with this
20 kind of information in the final IEPR. I think it puts the
21 whole load forecasting issue in a perspective that a lot of
22 people are interested in. I do not know if that is possible
23 at this late stage, but basically that is my request. I
24 again echo the sentiments that have been expressed by many.
25 I think the staff is doing a hell of a job trying to keep

1 track of all this stuff -- it is a nightmare for me -- I
2 hope it is easier for them. That concludes my comments.

3 COMMISSIONER BYRON: Okay, so I just want to make
4 sure that I grasped what you are asking for. You are asking
5 for a better characteristic of the non-renewable decrease in
6 this forecast?

7 DR. FERGUSON: Well, both of them. I am not sure
8 that I am calculating, you know, [inaudible] and everything
9 else, and I am actually calculating retail sales correctly,
10 you know, based on our PV assumptions. So, yeah, I mean, I
11 would just like some help getting these numbers right on
12 both the bars to really understand what it is we are talking
13 about, the additions that are going to have to be made, and
14 how much fossil that are nonrenewable generation
15 legislation.

16 COMMISSIONER BYRON: Okay. Dr. Jaske has
17 approached the microphone. Let's see what he has to say.

18 DR. JASKE: Mike Jaske, Energy Commission staff.
19 Were the Governor to sign one of the renewable bills, we
20 would have a clearer basis for knowing how to compute the
21 blue bars. But now that we have the executive order
22 directing ARB to develop its own regulations, it now becomes
23 more murky what it is precisely will be the basis of 33
24 percent --

25 COMMISSIONER BYRON: Because the regulations have

1 yet to be developed?

2 DR. JASKE: That is correct. And they will not be
3 developed for quite a number of months. So one can do
4 computations of the sort that are being requested to produce
5 the blue bars, sort of assuming that the current RPS formula
6 stays into effect and that it is 33 percent of retail sales,
7 and that means that certain kinds of end uses are excluded
8 like pumping loads, and one can go through that. Computing
9 the green bar, which was at least a scenario that staff
10 conducted as part of its contribution to, I believe, the
11 June 29th RPS workshop, becomes more complex. That is the
12 result of a production cost modeling analysis, a review of
13 those results to determine the extent to which such results
14 are credible. That deals with the question of whether it is
15 in-state versus out-of-state that is being displaced. And I
16 am not clear whether, in any IEPR timeframe that that kind
17 of reanalysis can be done using this new forecast. Perhaps
18 if RETI needs this over some longer time horizon, you know,
19 that can be done. But I think not in the timeframe of this
20 IEPR.

21 COMMISSIONER BYRON: Dr. Ferguson, don't you make
22 some simplifying assumptions, and does it matter to you
23 whether it is in-state or out-of-state generation that we
24 are displacing?

25 DR. FERGUSON: Yes, this chart does not make a

1 distinction. I am not sure how anybody can know which it
2 is going to be, so I mean, we hear from Dave Freeman that he
3 is going to close IPP and use the DT line to bring in solar,
4 but who the heck knows? These are not at that level of
5 detail. All I can say is we are trying to get together with
6 the CCPG, and we are trying to get an initial priority plan
7 done by -- it probably will not be until the end of this
8 year, by early next year. We are going to use some kind of
9 projections one way or the other, so to the extent that
10 could help staff with that, we would appreciate it. And I
11 was not at the RPS workshop that Mike mentioned, so I am not
12 sure quite what they came up with there. But it would just
13 be helpful and if staff can help us out with this, that
14 would be great, if not, we will go it alone. But we do need
15 to use the new load forecast and reinterpret what we have
16 been doing and see how much difference that makes.

17 COMMISSIONER BYRON: I think you did hear from Dr.
18 Jaske that staff is available, probably not in the time
19 frame associated with completing this forecast for this
20 IEPR, but certainly assistance -- we will go out of our way
21 to provide whatever assistance we can to the stakeholders
22 steering committee of the Renewable Energy Transmission
23 Initiative. And I think you know that staff is available as
24 a resource in that regard. But, again, it is probably not
25 going to be as part of this IEPR. Am I correct, gentlemen?

1 I am seeing nods in the affirmative.

2 DR. FERGUSON: Well, fair warning, we will
3 proceed.

4 COMMISSIONER BYRON: All right, good. And, you
5 know, we want that independence of the stakeholder steering
6 committee and that calculation, please consider the
7 assistance and input this Commission would provide as just
8 that -- assistance and information that you could use to
9 determine that -- what do you call this, Dr. Ferguson? The
10 net short calculation?

11 DR. FERGUSON: Well, not quite, but pretty close.

12 COMMISSIONER BYRON: Okay, it is part of that
13 calculating process. Any other public comments? I am
14 sorry, Dr. Ferguson, was there anything else?

15 DR. FERGUSON: No, thank you very much.

16 COMMISSIONER BYRON: Okay, any other comments?
17 Well, seeing none, I think we are just about done here. As
18 I said earlier in the day, I probably should have said in my
19 earlier remarks, because we take these IEPR workshops for
20 granted, we are nearing the close of the IEPR season -- we
21 are in the harvest period now, there are only a few
22 workshops remaining as I recall. And it would seem to me,
23 this being the third workshop on this particular subject in
24 the last four or five months, we are making progress with
25 regard to communicating and getting our definitional parts

1 all figured out with regard to the imbedded energy
2 efficiency in our forecast. I would like to certainly thank
3 the participation of the IOUs and the POUs that were here,
4 present, or on the phone. We do welcome your written
5 comments and I believe Ms. Korosec said the deadline for
6 that is October 2nd?

7 MS. KOROSEC: That is correct.

8 COMMISSIONER BYRON: We have little latitude there
9 and I really welcome your input by that date. I am also
10 very glad to see some optimism returned to the economic
11 forecasts that are embedded in our forecast, at least for
12 most areas of the state. I would like to congratulate and
13 thank staff for the work in their revised forecast and also
14 in their efforts to incorporate all the public input that we
15 have been receiving. As I said, I think this is the never
16 ending story. We will continue to work on this. But I
17 think we are close. And we are going to go ahead and
18 recommend this forecast in our IEPR, but I think there is a
19 little bit of work yet to be done before we get to that
20 point. Ms. Korosec, anything else we should add?

21 MS. KOROSEC: No, I think that has covered
22 everything.

23 COMMISSIONER BYRON: Thank you, all. We will be
24 adjourned.

25 (Whereupon, at 4:42 p.m., the workshop was

1 adjourned.)

2

--o0o--

CERTIFICATE OF REPORTER

I, KENT ODELL, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Workshop; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said meeting, nor in any way interested in outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 15th day of October, 2009.


KENT ODELL