

DOCKETED

Docket Number:	21-SIT-01
Project Title:	21-SIT-01, SB100 Implementation Planning for SB100 Resource Build
TN #:	249843
Document Title:	CEC OSW Workshop 3_13_23 Transcript
Description:	CEC OSW Land Use Screens Workshop held on March 13, 2023 Complete and Final Transcript
Filer:	susan fleming
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	4/21/2023 9:46:38 AM
Docketed Date:	4/21/2023

CALIFORNIA ENERGY COMMISSION

In the matter of:

SB 100 Implementation:)
Planning for SB 100 Resource) Docket No. 21-SIT-01
Build)
_____) RE: Land-Use Screens

COMMISSIONER WORKSHOP ON LAND-USE SCREENS

IN-PERSON AND VIA ZOOM

WARREN-ALQUIST STATE ENERGY BUILDING

ROSENFELD HEARING ROOM, FIRST FLOOR

1516 NINTH STREET

SACRAMENTO, CA 95814

MONDAY, MARCH 13, 2023

1:00 P.M.

Reported by:

Martha Nelson

APPEARANCESCOMMISSIONER

Siva Gunda, Vice Chair

CEC STAFF

Mona Badie, Public Advisor

Erica Brand, Project Manager

Saffia Hossainzadeh, Geospatial Scientist

Travis David, Research Data Specialist II

Gabriel Blossom, Research Data Specialist II

Hilarie Anderson, Workshop Admin Lead

Benjamin Finkelor, Advisor to Vice Chair Gunda

CPUC

Jared Ferguson, Regulatory Analyst

NREL

Anthony Lopez, Researcher, Geospatial Data Science Group

PUBLIC ADVISOR

Mona Badie

PUBLIC COMMENT

Daniel Kim, Golden State Clean Energy

Frank Harris, California Municipal Utilities Association

Shannon Eddy, Large-Scale Solar Association
APPEARANCES

PUBLIC COMMENT

Ellen Wolfe, Resero Consulting

Brian Biering, American Clean Power Association

Kyle Navis, Public Advocates Office, CPUC

Nancy Rader, California Wind Energy Association

Kate Kelly, Defenders of Wildlife

INDEX		<u>PAGE</u>
1.	Introduction Erica Brand, CEC, Project Manager	6
2.	Opening Remarks Siva Gunda, CEC, Vice Chair	8
3.	Presentation: Workshop Overview and Land Use in Electric System Planning Erica Brand, CEC	10
4.	Topic I: Technical Resource Potential	16
a.	Presentation: National Technical Potential Assessments: Data, Methods, and Outcomes Anthony Lopez, National Renewable Energy Laboratory (Remote)	
b.	Presentation: Land-Use Screens in CPUC's Integrated Resource Planning Jared Ferguson, CPUC (Remote)	
c.	Presentation: Proposed Updates to Land-Use Screens for Statewide Resource Potential Erica Brand and Saffia Hossainzadeh, CEC	
d.	Presentation: Draft Land-Use Screens Map Viewer Travis David, CEC	
e.	Presentation: Non-Residential Solar Footprints in the State of California Gabriel Blossom, CEC	
f.	Question and Answer	
5.	Five-minute Break	118
6.	Topic II: Busbar Mapping	119
a.	Presentation: Busbar Mapping of IRP Portfolios for the TPP Jared Ferguson, CPUC (Remote)	
b.	Presentation: Land-Use Evaluation for Busbar Mapping: Current Methods and Evaluating Options for Updates. Saffia Hossainzadeh, CEC	

c. Question and Answer

INDEX

	<u>PAGE</u>
7. Public Comments	148
8. Closing Remarks	155
Adjournment	156

P R O C E E D I N G S

1:00 p.m.

MONDAY, MARCH 13, 2023

1
2
3
4 MS. BRAND: Good afternoon. I'm Erica Brand with
5 the Energy Commission Siting, Transmission, and
6 Environmental Protection Division. Welcome to today's
7 workshop focused on land-use screens and environmental and
8 land use evaluation in electric system planning.

9 Before we begin, I'm going to go over a few
10 housekeeping items.

11 First, this meeting is being recorded and is
12 being held both remotely and in-person in Sacramento to
13 improve public access. The workshop recording will be made
14 available on the Energy Commission's website.

15 For those of you joining us remotely, to make the
16 workshop more accessible, Zoom's closed captioning has been
17 enabled. Remote attendees can use the service by clicking
18 on the live transcript icon and then choosing either show
19 subtitle or view full transcript. The closed captioning
20 service can be stopped by exiting out of the live
21 transcript or selecting the hide subtitle icon. Closed
22 captioning cannot be exited by phone.

23 Workshop materials can be located on the CEC
24 website, or for those in person today, we have hard copies
25 located in the back of the room near the entrance. For

1 those of you online, we will drop the link to the workshop
2 materials in the chat.

3 For those of you joining in-person today,
4 restrooms are located outside the Rosenfeld room to the
5 left near the P Street exit. In case of emergency, please
6 follow building staff to Roosevelt Park located diagonally
7 across from the Warren Alquist State Energy Building.

8 Next, when we get to the public comment portion
9 of our agenda, we will start with those in the room
10 followed by those online. For those in the room that would
11 like to make a public comment, please fill out a blue card
12 located in the table in the back of the room and walk it
13 over to Mona, the CEC's Public Advisor.

14 Thanks, Mona.

15 For those of you on Zoom that would like to make
16 a public comment, we will be using the raised hand feature
17 today, which looks like a high five. And for those of you
18 joining by phone, press star nine to raise your hand and
19 then press star six to mute and unmute.

20 Please also note that the chat feature is not
21 available to the audience today.

22 A few more notes on public comment. Public
23 comment will be at the end of the meeting. Comments may be
24 limited to three minutes or less per speaker. We'll show a
25 timer on the screen and we'll alert you when your time is

1 up and all comments will become part of the public record.

2 Next slide, please, Hilarie.

3 Now I'm going to quickly run through our agenda
4 for this afternoon.

5 We'll start with opening remarks from Vice Chair
6 Gunda. Following opening remarks, the content of today's
7 workshop is divided into two sections.

8 The first section will focus on methods for
9 assessing renewable resource technical potential. This
10 section will include presentations from the National
11 Renewable Energy Laboratory, the California Public
12 Utilities Commission, and the California Energy Commission.

13 The second section will focus on busbar mapping
14 and potential updates to the environmental and land use
15 evaluation.

16 Following the presentations, each section will
17 include time for questions and answers on the material
18 presented today. Between the two sections, we'll take a
19 brief five-minute break and at the end of the workshop,
20 we'll have public comment.

21 With that, I'll turn it over to Vice Chair Gunda
22 to lead our opening remarks.

23 VICE CHAIR GUNDA: Thank you so much, Erica.

24 Thank you, everyone, for joining today and for
25 all the staff for helping pull this workshop together.

1 This workshop is to provide another opportunity for the
2 public to comment on the updates towards the land-use
3 screens for electric system planning before they're
4 finalized later this spring.

5 CEC's land-use screens work, as most of you know,
6 which we're going to hear about today, is foundational and
7 has the potential for significantly impacting state
8 processes, including the CPUC's IRP process, but also our
9 long-term planning on SB 100. And it's really important
10 that we at CEC consider all the various perspectives
11 thoughtfully in developing the screens and making sure all
12 the priorities are reflected as we move this work forward.

13 And really appreciate all of you who submitted
14 the comments to the draft staff report, which was released
15 in October as a part of the IEPR process, but also, you
16 know, those of you that have reached out for briefings and
17 meetings and making sure that we really heard your updates.
18 And I'm incredibly grateful for Erica and the team for
19 taking those input and feedback into consideration as they
20 try to evolve and go into this next phase of work.

21 Just want to give a special thanks to the CEC
22 team, Erica, obviously, who's going to be emceeding this
23 workshop today, but also Saffia Hossainzadeh and Travis
24 David, Gabriel Blossom and Elizabeth Huber, all the CEC
25 team, and also our collaborating agency partners, including

1 Jared Ferguson from CPUC and staff from multiple state
2 agencies and federal agencies, too many of them to name
3 here.

4 I also want to just elevate one other point. We
5 recently had a tribal consultation regarding SB 100 last
6 week, and we're going to continue that work as well. And
7 the tribal partners also noted the importance of this work
8 and ensuring that, you know, their voices are heard as we
9 develop this and really leveraging, you know, the work that
10 they have done as tribal nations.

11 So this is one of those works that really brings
12 all of California together and really look forward to both
13 listening to the presentations and hearing the feedback.

14 With that, back to you, Erica. Thank you.

15 MS. BRAND: Thank you very much.

16 Okay, Hilarie, next slide. Great. So I'm going
17 to go to -- we can go to the next slide after this one.
18 Thank you. Alright.

19 So I'm going to spend a few minutes setting the
20 stage for today's workshop and the role of geospatial or
21 map-based environmental and land use information in
22 California's electric system planning activities.

23 Next slide, please.

24 As I mentioned in the agenda, today's workshop
25 has two key topics. The first section is going to focus on

1 the use of land-use screens or map-based environmental and
2 land use information to estimate renewable resource
3 technical potential.

4 And to learn more about what technical potential
5 is, we're going to be hearing a presentation from Anthony
6 Lopez at the National Renewable Energy Laboratory about
7 national technical potential estimates for long-term energy
8 analysis and planning. Following Anthony's presentation,
9 Jared Ferguson from the CPUC will be here to discuss
10 technical potential estimates in the integrated resource
11 planning process. And then after that, we'll hear a
12 presentation from Saffia from the CEC project team about
13 the proposed update to the environmental and land use data
14 in the land-use screens used to estimate technical
15 potential in California's long-term planning activities.

16 The second section of the workshop will focus on
17 busbar mapping. Jared will return for an overview of the
18 busbar mapping process at the CPUC. And then Saffia will
19 present on the current environmental and land use
20 evaluation methods for busbar mapping, as well as
21 discussing possible updates.

22 Next slide.

23 So today's workshop has several goals. The first
24 is to present proposed modifications to the draft land-use
25 screens for resource potential in response to public and

1 agency feedback to the draft that we released in October.

2 The second goal is to provide an additional
3 opportunity for public engagement and comment before
4 finalizing the staff report and concluding the cycle of
5 updates to the land-use screens for electric system
6 planning.

7 And then finally, the third goal is to create an
8 opportunity for early feedback into the scope of potential
9 changes to the environmental and land use evaluation
10 methods for the CPUC's busbar mapping process.

11 Next slide.

12 So just to set the stage, for over ten years, the
13 CEC, CPUC, and California ISO have used land-use screens in
14 statewide electric system planning in both integrated
15 resource planning and Joint Agency SB 100 analysis. Land-
16 use screens help to estimate the technical potential for
17 large-scale renewable resources like utility-scale solar,
18 land based wind, and geothermal. The land-use screens are
19 high level and rely on statewide information to help
20 establish an upper boundary estimate of how much
21 development is feasible or what the development potential
22 is by different regions.

23 The technical potential estimated after applying
24 the land-use screens then becomes an input into capacity
25 expansion modeling, such as RESOLVE modeling for the IRP,

1 which Jared will share more about in his slides.

2 One important point I want to make on this slide
3 is why the energy agencies have used land-use screens for
4 so long in electric system planning, and it's because it's
5 one part of a multi-pronged approach to coordination across
6 state and federal governments to really strategically plan
7 to achieve the state's multiple goals, including clean
8 energy deployment to address climate change, biodiversity
9 conservation, and sustaining agricultural lands.

10 Land-use screens support increased transparency
11 in decision making and early identification of issues or
12 barriers to development, which really supports long term
13 reliability in planning for long lead time investments,
14 such as transmission.

15 Next slide.

16 This slide from the 2021 Joint Agency SB 100
17 Report takes a closer look at the role of land-use screens
18 in the resource planning modeling framework for SB 100.

19 If we look at the first box on the left-hand side
20 of this slide, you'll see that land-use screens are used to
21 inform renewable resource potential, and that's an
22 important input into the middle box, which is the capacity
23 expansion modeling that's done to model different
24 portfolios for what achieving SB 100 could look like. And
25 then on the far right, this is an example of the SB 100

1 core scenario from the 2021 report.

2 So this slide is just meant to put into context
3 how do land-use screens fit into the modeling framework
4 that's done for a report like SB 100.

5 Next slide.

6 So the goal of this slide is to show that the
7 land-use screens are just one deliverable in the overall
8 analytical framework for evaluating land use in the next SB
9 100 report. So the land-use screens, we're in the first
10 box in the top left where the revised land-use screens will
11 be used to help estimate the technical potential, which
12 then becomes an input into capacity expansion modeling.

13 After finalizing this cycle of updates to the
14 land-use screens, our team will move into developing
15 methods for refining the maps with more local data to
16 support the next SB 100 report. In the next report, we
17 plan to assess the potential impacts and tradeoffs of the
18 different scenarios or modeled pathways for achieving SB
19 100. And having more local and regional data is a helpful
20 part of being able to conduct that tradeoff analysis.

21 Next slide.

22 Alright, lastly, this slide here, I won't go
23 through all the dates, but what it does is it recounts the
24 public process steps and the timeline for this cycle of
25 updates to the land-use screens. Through the 2022

1 Integrated Energy Policy Report update, or the IEPR, the
2 CEC led a public and interagency process to take a look at
3 the land-use screens that were previously in use by the
4 state energy agencies and consider data and method updates.
5 This process included several workshops and the release of
6 a draft staff report in October 2022 with detailed proposed
7 changes. We'll discuss that draft staff report more when
8 we get to the CEC staff presentation.

9 The timeline also captures upcoming activities
10 related to busbar mapping, which we will describe later in
11 the slides, as well as developing the additional methods
12 for the land use analysis for the next SB 100 report.

13 So with that, I am going to help us transition
14 into the next section of the workshop -- so, Hilarie, if
15 you could move this slide forward? -- where we're going to
16 be talking about technical resource potential and, again,
17 really starting with this national perspective and then
18 zooming down into California, and eventually ending up
19 specifically on the staff proposal for the updates to the
20 land-use screens that the state agency used for estimating
21 technical resource potential.

22 So with that, I'm excited to be able to introduce
23 Anthony Lopez, a Senior Energy Researcher from the National
24 Renewable Energy Laboratory, or NREL.

25 Anthony, could you please turn on your camera?

1 And Hilarie, could you go to the next slide?

2 MR. LOPEZ: Alright. Thank you so much, Erica.

3 I guess I'll go ahead and start my presentation. That was
4 a great introduction to kind of the needs of technical
5 potential assessments. So I had a little spiel about why
6 we need those, but I think you did a fantastic job, so I'll
7 go ahead and just continue with my presentation.

8 So I'm here to talk about technical potential
9 assessments from a national perspective, and more
10 specifically to talk about what kinds of data that we
11 consider, what types of methods we use, and what types of
12 outcomes we're seeing in our analyses.

13 So I will say, though, that, you know, with the
14 increased demand for, you know, clean electricity and
15 energy associated with zero-carbon futures and new research
16 into the spaces and places that underpin technical
17 potential estimates, you know, we're really starting to
18 kind of get a lot better estimates and raise a little bit
19 of questions about what's actually truly developable. So
20 this research is quite critical.

21 Next. And you can go ahead and skip over.

22 So I'm going to first talk about data. So the
23 first thing to say is that technical potential assessments,
24 they stand at the intersection of multiple disciplines. So
25 first, to accurately quantify potential, one must consider

1 local siting constraints and the interaction with
2 technology options, both present and future in those
3 interactions with wind, solar, or other resources. And
4 what I mean by that is that the wind technology, solar
5 technology, and other VRE technology is rapidly evolving,
6 and we need to be able to capture those.

7 In addition, as they're evolving, their land use
8 requirements are changing as captured through capacity
9 density or the energy density, and this is directly
10 influencing the amount of land that you might need across
11 the landscape to achieve different levels of generation
12 potential.

13 Next slide.

14 So the other types of data that we integrate into
15 national technical potential analyses are the wind and
16 solar resources, and other resources as well, but I'll
17 focus on these two because these are the pretty graphics
18 that I have.

19 On the left-hand side, you have the Wind
20 Integration National Dataset, or WIND, toolkit. And on the
21 right-hand side, you have the National Solar Radiation
22 Database, or NSRDB. Both of these datasets are spatial
23 temporal datasets. They allow us to produce at very high
24 spatial resolution the amount of hourly and sub-hourly
25 generation profiles associated with technical potential,

1 which is critical for downstream modeling in either
2 production costs or capacity expansion.

3 I will say that we've always used historic
4 resources to give us a sense of the technical potential
5 that we usually model many, many years to capture
6 uncertainties within your annual variability, and this
7 gives us a really good historical perspective. However, we
8 are starting to look into what we call super-resolved
9 global climate change model data, and we're integrating
10 these now into our modeling ecosystems to try to understand
11 the impacts of climate change to resources and load. And
12 this does represent a new kind of frontier of research in
13 trying to understand how climate change might impact our
14 renewable energy resources available.

15 Next slide.

16 As far as data is concerned in terms of land use
17 constraints, environmental constraints, whether they're
18 rangeland disturbance, species core habitat, public and
19 private land conservation, and more are quite critical.
20 For NREL, in our national assessments, we typically
21 represent or capture legally or administratively protected
22 lands, or lands with a regulatory hook that could prevent
23 deployment or could enforce some level of curtailment on
24 the generation.

25 I have below on the right some example datasets.

1 This isn't a full list, but this does represent the bulk of
2 kind of the environmental constraints that we consider,
3 namely in there in terms of the land area, the Protected
4 Areas Database GAP Status 1 and 2, and the National
5 Conservation Easement Database GAP Status 1 and 2 represent
6 the bulk of the area that is precluded from development
7 within our models.

8 We also have other possible exclusionary areas or
9 siting constraints that we apply within the model, whether
10 those are conservation reserve programs, locations, bat
11 hibernacula, or sage-grouse core habitat located on federal
12 lands. These are all things that we consider.

13 Next.

14 We also consider airspace issues. Now this is
15 primarily a wind consideration here, but airspace
16 considerations include radar interference, airport
17 proximity constraints, military training routes, special
18 use airspace, and more as all of these can dictate the
19 final placement or height of a perspective turbine.

20 Next.

21 We also consider social and the regulatory
22 landscape. So human infrastructure is a physical obstacle,
23 but this is also confounded by the increasing number of
24 siting ordinances which dictate setbacks, sound limits,
25 density limits and more, and are intrinsically linked with

1 the technology assumptions broadly. An example of this is
2 that most ordinances are based off of, for wind, a tip
3 height, and it's a tip height multiplier. When you
4 directly link that with the turbine technology assumption,
5 you can get more or less area associated with development.

6 You can see we're building on our -- our analysis
7 is built upon two different databases that we've been
8 collecting over the years. They are the Wind and Solar
9 Ordinance Databases. You can see two maps of those in the
10 bottom left-hand side and links to those databases. These
11 are publicly available for anyone to download and to use.
12 And the maps, the highlighted, those are highlighted
13 counties of which have an existing wind or solar ordinance.

14 So when we take the existing infrastructure
15 across the landscape, whether it's a road or a person's
16 house, a transmission line, a railroad, or more, and then
17 we apply these ordinances, we start to get a better
18 understanding of land that is either excluded from energy
19 development or, if you want to flip the coin, you can say
20 land that is available for energy deployment or codified
21 for energy deployment.

22 Next slide.

23 For anyone who's really kind of been deep into
24 technical potential analysis or supply curve, what we call
25 supply curve modeling, and I'll talk a little bit more

1 about that soon, we all know that siting is actually very
2 difficult and uncertain. In non-technical terms or non-
3 scientific terms, it's squishy.

4 For the remaining lands, we always apply what we
5 call a land characterization because we know that siting is
6 not always Boolean. It's not always a yes or no question.
7 So what we do is we quantify the characteristics of these
8 remaining lands, especially those developed within our
9 capacity expansion models, to help illuminate the potential
10 scale of additive pressures. So for example, roughly how
11 many turbines might DOD expect to intersect military
12 training routes?

13 So you can see an example, example datasets, on
14 the right over there, whether those are TNC-resilient
15 lands, wildlife areas for solar or wind, American Farmland
16 Trust, productivity, versatility, resiliency, information,
17 and more. These are all additional datasets that we just
18 try to have a better understanding of how our models are
19 really either preferring to develop on those, nearby those,
20 or not at all.

21 Next slide.

22 Ultimately, when we weave all of these conditions
23 together, at least siting constraints together, we can
24 impose locational dependent limits on deployment
25 opportunities in many resource-rich regions. And

1 consequently, we can illuminate the need for increased
2 tailoring of power plants into the local, social, and
3 ecological, and topographical context.

4 And what do I mean by this? Well, as I stated
5 earlier, technology is evolving very rapidly. In the maps
6 in the middle, on the top map, the green areas are showing
7 locations that meet a levelized cost of energy threshold.
8 We all know this is roughly the wind belt in the United
9 States, but through R&D investments of near future
10 innovations for wind turbine technology, we might be able
11 to envision a future on the map below, where the green
12 areas represent an expanded geographic area of low cost
13 wind, in effect, lowering our siting constraints for wind
14 technology, because we're making low-cost wind more broadly
15 available to the system.

16 So next.

17 Okay, so now that we have all of this data that
18 we're looking at, how do we actually integrate all of this?
19 I will talk so through the methods that we use at NREL.

20 Next.

21 So we use what's called the Renewable Energy
22 Potential Model, or reV. And this is a best-in-class model
23 for estimating renewable energy supply, and you can see the
24 technologies that we have available to model. The point of
25 this graphic, I would say, though, is that we model on

1 broad geographic scales. In this particular case, we model
2 the contiguous United States, or CONUS, and its waters, its
3 offshore waters.

4 In addition, across this broad geographic scope,
5 we go all the way down with a lot of spatial fidelity to
6 avoid even individual houses when we're conducting our
7 technical potential analysis.

8 Next slide.

9 So how does it actually work? Well, it's a high-
10 performance computer leveraging petabytes of data and
11 conducting billions of spatial temporal calculations. It's
12 big data.

13 First, we start with the resource data. This is
14 fed into the system's generation model to estimate hourly
15 or sub-hourly generation profiles. We enable site-specific
16 economic assumptions to estimate levelized cost of energy.
17 We apply siting constraints to whittle away the resources
18 we deem not developable. And then we have transmission
19 routing to then evacuate that site-dependent energy off
20 onto the existing electric grid.

21 Then, finally, we have modules for
22 interoperability to feed these into either our capacity
23 expansion zonal models or our production cost models that
24 typically model on a nodal basis.

25 Next.

1 But because we're mostly concerned with land
2 siting, I want to talk a little bit more about that and how
3 we're approaching this at NREL.

4 So the first thing to note here is that the
5 capacity density assumption has been primarily used as a
6 means to infer what the capacity potential could be after
7 exclusions are applied. However, there are some
8 limitations with this, primarily that capacity density is a
9 historical looking -- is an empirical assessment and
10 historical and basis, but oftentimes when we're looking
11 towards the future, the technology, wind technology in
12 particular and solar technology, are evolving so fast that
13 we want to look at prospective development, not historical
14 development.

15 So we are looking -- we've developed a spatial
16 optimization of local wind plant designs, and this
17 represents a novel advancement in the technical potential
18 assessments. Our approach accounts for the interactions
19 between wind technology design, wind plant layout and the
20 vast array of regulatory land use and infrastructure
21 conflicts with wind development.

22 Ultimately, we spatially optimize across 67,000
23 sites in the United States. This represents around 3
24 million turbines that are explicitly sited. It outputs a
25 capacity density into our technical potential estimate as

1 opposed to being an input into our technical potential
2 assessment. Ultimately, we get a capacity estimate from
3 this.

4 Next slide.

5 And as I stated before, siting is very dynamic,
6 it's evolving, it's sometimes squishy, or often I should
7 say. And so how do we capture that uncertainty within our
8 models?

9 Well, we have this philosophy and this approach,
10 what we call siting regimes or a scenario framework, to
11 approaching this uncertainty. We've developed an open
12 access siting regime. This basically represents the least
13 restrictive combination of siting constraints, meaning that
14 you can't develop in legally administrative-protected lands
15 like Yellowstone, and you can't develop on existing
16 infrastructure like someone's house or the highway. But
17 other than that, wind development is open, is open. And
18 this gives you a ceiling of development potential.

19 Then we have reference access, and this is a
20 moderate siting regime that balances siting considerations
21 by utilizing, where feasible, best management practices.
22 And this helps to guide the deployment potential. And when
23 I say best management practices, it means that we're
24 starting to implement the existing ordinances, but in
25 addition, the practices that developers tend to follow,

1 even if there are not any codified lands via ordinances.

2 And then we have limited access, and this is a
3 combination of the most stringent siting considerations of
4 all scenarios. It represents a plausible floor for
5 available land.

6 In this particular case, we get a little
7 creative, and we try to stress test the system, what are
8 important aspects, and what are release levers within our
9 models when siting becomes incredibly difficult across the
10 landscape?

11 Next slide.

12 And as I said earlier, after all of this, you
13 have to evacuate the energy off into the electric grid. So
14 we have transmission methodologies using least cost path
15 analyses.

16 So in this, we use regional voltage-based costs,
17 which are selected based on the perspective wind or solar
18 site size, as guided by the exclusions, and these are
19 routed to neighboring substations to estimate the cost of
20 spur transmission and point of interconnection. This
21 routing is guided by regional hard costs, so the cost of
22 the steel and the wires, as well as soft costs, so the land
23 composition. It's a lot more difficult to develop in
24 suburban areas as opposed to fallow lands. And in
25 addition, plots are guided by natural and cultural

1 constraints as friction to avoid likely high mitigation
2 cost areas, as seen in the maps on the bottom left.

3 We do this routing for about the 67,000 locations
4 in reV, and you can see kind of an example map of what this
5 looks like. You have the reV wind site in the middle. You
6 have kind of that gray lake-looking area as the excluded
7 area. You have kind of the land composition that looks
8 like -- you know, it's a little more difficult to develop
9 on mountainous forested areas. And then you have the
10 routes that are being -- and you have the transmission
11 lines that are being routed to each one of those
12 substations.

13 In addition to this, in terms of methodologies,
14 we've now started to model network upgrade requirements as
15 a function of these locations as well. Based on kind of
16 the recent LBNL research done, I believe, in PJM, we are
17 now starting to see that this is a very important
18 consideration and cost within both our supply curve as well
19 as our capacity expansion model -- or technical potential
20 and capacity expansion model.

21 Next slide. Next slide. Oh, there we go. Okay,
22 so -- oh, can you go back one? There we go.

23 So when we bring it all together, we call this --
24 basically what we call a supply curve. This is a technical
25 potential assessment that has additional information about

1 the economics associated with each one of these individual
2 sites, which are really useful in terms of understanding
3 the quantity, quality, and cost of the VRE resources.

4 So when you put a supply curve together and you
5 put it on this kind of graph, it looks like a line, but
6 that line is actually 67,000 individual points, each with a
7 specific geolocation, a specific cost, a specific capacity,
8 and a very specific production -- I'm sorry, power profile
9 that's used within our production cost and capacity
10 expansion models. So it represents a lot of information
11 that we are generating to create these insights needed.

12 Next slide.

13 So, outcomes. So when we actually conduct this
14 analysis and we incorporate these land-use screens into our
15 analysis, how much of an impact does it have on the future
16 energy system?

17 Next slide.

18 The short answer is a lot, at least from a
19 technical potential perspective on this slide. So what we
20 found in recent research in 2021 was that the influences of
21 local siting on national wind potential can be quite
22 profound. On the left-hand side, we're using those siting
23 regimes, and the left-hand side, we're showing open access,
24 and we have about 15 terawatts worth of technical potential
25 capacity. If we move over to the middle map, we see about

1 7.8 terawatts of capacity, and if we move over to the
2 right, in the limited access, we have about 2.2 terawatts
3 of capacity. So the darker the blue on those maps means
4 the more capacity available.

5 Now, we all know that it's not just about
6 capacity, but the quality of those resources that remains,
7 which is really important, in addition to how remote those
8 are. We can gain information about these through those
9 supply curves and technical potential by looking at the
10 distributions of the wind speed associated with that
11 capacity, the levelized cost of energy, and the remoteness
12 as viewed via the levelized cost of transmission of that
13 capacity in our analyses.

14 Now, 2.2 terawatts is not -- is decremented a
15 fair amount, but that is still seen as enough for kind of
16 current decarbonization projections, most of them,
17 depending on what you're looking at. But what kind of
18 effects might that have on renewable energy deployment?

19 Next slide.

20 And we had a companion manuscript that we wrote
21 with this previous dataset, looking at and using our
22 capacity expansion model in those scenarios to look at what
23 would be needed or what would happen if we were to enforce
24 40 percent wind generation on the system. And what we
25 found was that local siting influences not only the pace,

1 but the scale and the distribution of wind resources and
2 resource and wind resource development.

3 So on the left-hand side here, these land-use
4 screens resulted in the open access having highly
5 concentrated wind development in the darker blue areas.
6 That high concentrated wind development was also enabled to
7 be deployed within very high-quality resources, meaning
8 that we needed about 559 gigawatts to reach 40 percent
9 generation.

10 But on the right-hand side, under a limited
11 access scenario, we see that siting constraints are very
12 difficult and it doesn't allow us to tap into those high
13 quality resources. It requires us to distribute those
14 resources across broader geographies and ultimately need
15 higher capacity, about 666 gigawatts total, to reach 40
16 percent generation.

17 So siting definitely has a pretty big impact on
18 kind of our understanding of what it means to achieve high
19 wind contributions to kind of the electric grid.

20 Next slide.

21 And I will say here that technical potential
22 estimates, I heard this in the introduction, this is great,
23 they're foundational to studies. They provide the
24 necessary resource and grid interconnection
25 characterizations. And ultimately, these lay the

1 foundation for all the studies that we're conducting in it,
2 a lot of the studies we're conducting, I don't mean all of
3 them. And ultimately, to understand decarbonization
4 pathways, we must first define, you know, what's possible.

5 Next slide.

6 And with that, that's the end of my presentation.

7 MS. BRAND: Thank you so much, Anthony. We
8 appreciate you joining us today.

9 I'm going to pause here and I'm going to see if,
10 Vice Chair Gunda, if you have any questions for Anthony
11 before he has to leave today?

12 VICE CHAIR GUNDA: Yeah. Thank you, Anthony, so
13 much for that presentation. I really enjoyed how clear
14 that was in its structure. I had a couple of high-level
15 questions I might have not tracked carefully.

16 One is just the climate impacts and how you are
17 including them in the broader wind potential, if you could
18 comment on that?

19 And also the second one, you specifically talked
20 about the open access reference and the limited access
21 portfolios and looking at the compiling the cultural
22 constraints. I wanted to understand how you're approaching
23 that, and then, you know, if you -- how you compiled those.

24 And the third question, I'm just going to put it
25 there, is in terms of next steps in improving your work,

1 what do you see as the opportunities, if you could comment
2 on them?

3 Thank you.

4 MR. LOPEZ: Great. Great questions.

5 Okay, so first, for the global climate change
6 data, often with the GCMs, they are -- the outputs of those
7 are usually 100 kilometers or so, the spatial resolution,
8 and they're often daily in terms of their temporal
9 resolution. And so those are not resolved enough, both
10 spatially and temporally, for us to use in technical
11 potential assessments, nor are they spatially or temporally
12 resolved enough for us to use in our capacity expansion
13 models.

14 And so we've been conducting some analyses and
15 research at NREL to use machine learning and AI to
16 spatially and temporally downscale those, so that way it
17 fits within our model naturally and in the same way as
18 we've been using historical estimates. And so the goal
19 then would be to downscale an ensemble of climate scenarios
20 and climate models to then start to ask the question of how
21 much does global climate change our understanding of
22 technical potential?

23 Okay, second question is the siting regimes. So,
24 you know, those are kind of qualitative scenarios that we
25 define. And, you know, again, on the open access, what

1 we're really trying to do is make no judgments about things
2 other than legally or administratively lands that would
3 preclude energy development or an infrastructure. So you
4 can't build on my house. But other than that, it's just
5 open for development. And really what that gives us is a
6 ceiling, and it gives us something to kind of benchmark
7 against.

8 In terms of reference access, we apply these
9 siting ordinances, and we're collecting these kind of on an
10 ongoing basis as they are kind of continuing to expand
11 across the country. For example, in 2018, we first started
12 collecting wind ordinances. We had about 300 of them. We
13 did a new collection four years later, just recently, and
14 we have about 1,800 of them, so they're expanding quite a
15 bit. And it's giving us an understanding of what
16 communities are asking of developers. So that's one way
17 we're approaching it.

18 Another way we're approaching it is we talk to
19 developers to understand what their best management
20 practices are in terms of development. So maybe a county
21 doesn't have an ordinance, but they're still going to
22 impose on themselves, you know, some sort of a setback away
23 from houses or roads or transmission lines and things of
24 that nature.

25 The real focus on that as well, from an

1 environmental perspective for us at NREL, is that we try to
2 focus on things that have a regulatory hook. Could, you
3 know, development be precluded via some sort of regulatory
4 hook? But we try to -- we don't necessarily make a lot of
5 judgment on kind of the private land ecosystem services
6 focus that, you know, other organizations do, which I think
7 is fantastic. It's just not our focus.

8 And in terms of limited access, what we're trying
9 to see is a lot of these counties or communities -- some of
10 these, not a lot, some of these communities are imposing
11 pretty restrictive ordinances on wind and solar.

12 And then similarly, you know, we're starting to
13 see very difficult siting in places like Europe, whether
14 it's Germany or Denmark or what have you, and so we want to
15 ask the question, you know, what if this starts to kind of
16 happen in the United States? What if it becomes very
17 difficult to site things locally? What if there's a lot of
18 social opposition? What if there's a lot of environmental
19 opposition to development? What does that mean in terms of
20 still reaching our goals? Does that make transmission more
21 important? Does that make distributed generation more
22 important? And that's what we're trying to do from a
23 limited access scenario.

24 And then I am so sorry. What was the third
25 question? Oh, what's up and coming?

1 VICE CHAIR GUNDA: Yeah.

2 MR. LOPEZ: Okay. Okay, what's up and coming?

3 So what we're focusing on now is a tailoring. So
4 I talked a little bit more about how turbine technology and
5 solar technology is intrinsically linked with technical
6 potential assessments. Historically, most of the
7 literature is focused on using one, maybe a couple
8 different turbines and they're making kind of broad
9 assumptions about what the land use requirements would be
10 for those turbines or those PV panels. So you might use
11 one static capacity density assumption. But if you look
12 empirically, they vary very drastically. You could have
13 one megawatt per square kilometer, you could have 20
14 megawatts per square kilometer, depending on where you're
15 siting.

16 And so what we're trying to do is say, okay,
17 well, let's create some models that can optimize and give
18 us realistic deployment estimates and capacity density
19 estimates based on a range of perspective wind turbine
20 technology, so it's an output of our model rather than
21 input. And this can basically change your understanding of
22 technical potential.

23 So for example, we have some research that's just
24 coming out now that would actually change limited access
25 and increase the capacity if you were to choose an optimal

1 turbine for those siting conditions, similar with the
2 reference axis. So it's all about kind of optimizing the
3 technology design to try to squeeze out the most out of our
4 technical potential estimates.

5 VICE CHAIR GUNDA: Thank you, Anthony. There's a
6 few other questions I could raise, but I know, in interest
7 of time, really appreciate your time. And I know how
8 complicated this work is and those efforts as a whole.
9 Thank you.

10 MR. LOPEZ: Thank you so much for having me.

11 VICE CHAIR GUNDA: Yeah, thank you.

12 MS. BRAND: Thank you, Anthony, again, for
13 joining us today.

14 For attendees, Anthony's slides are available on
15 the workshop web page, which has been linked in the chat.

16 So next, we're going to be joined by Jared
17 Ferguson from the Public Utilities Commission to present on
18 land-use screens in the CPUC's IRP.

19 So Jared, I'll hand it over to you.

20 MR. FERGUSON: Thanks, Erica. And thanks to the
21 Energy Commission for the opportunity to present at the
22 workshop today.

23 I'm Jared Ferguson, as Erica said, and I'm an
24 Analyst with the Integrated Resource Planning Team in the
25 Energy Division at the California Public Utilities

1 Commission. Today, I'll briefly highlight the roles of
2 land use and environmental screens and integrated resource
3 planning related activities at the PUC.

4 Next slide, please.

5 First, I'll give a brief refresher on what
6 integrated resource planning is and how it interacts with
7 the various processes of California's electric resource
8 planning ecosystem. And then I'll discuss the points at
9 which land use comes into play and where we plan to
10 implement these new CEC screens into it.

11 Next slide, please.

12 Established by SB 350 in 2015, IRP is meant to
13 guide electric sector resource planning to help the state
14 achieve its greenhouse gas reduction goals at least cost
15 while maintaining system reliability. We do that by
16 looking across the boundaries of individual load serving
17 entities towards the whole electricity system to identify
18 resource and optimization opportunities, as well as issues
19 that might not otherwise be apparent when looking at things
20 on an LSE by LSE basis.

21 The goal of the current IRP cycle, the 2022-2023
22 IRP cycle, which is our third IRP cycle, is to ensure that
23 the electric sector is on track between now and 2035 to
24 achieving the deeper mid-century decarbonization goals of
25 SB 100.

1 A typical IRP planning cycle is divided into two
2 halves. The first part of the cycle, or rather in the
3 first part of the cycle, the CPUC identifies an optimal
4 portfolio for meeting state policy objectives and then sets
5 requirements for the load serving entities to plan towards.

6 The second half of the cycle starts after LSEs
7 have submitted their plans. The CPUC aggregates those LSE
8 plans, compares that electric system to the identified
9 optimal system that was identified in the first half, and
10 eventually adopts a final preferred resource portfolio for
11 use in planning and procurement. This second-half effort
12 leads to the development of the preferred system plan and
13 is where we are in this current 2022-2023 cycle.

14 Next slide.

15 This is a commonly used slide to show how IRP,
16 that I just described, fits into the broader electric
17 sector planning ecosystem. It's good for taking a step
18 back to show the scale of interagency coordination and the
19 dependencies of the various processes on each other and
20 across the multiple state agencies and the ISO.

21 As you can see from this web, IRP relies on
22 higher level policy guidance provided by the Air Resource
23 Board's Scoping Plan, and the Joint Agency's SB 100 work.
24 It also relies on the Energy Commission's IEPR, which
25 provides demand forecast, as well as a few key cost inputs

1 into the IRP. The IRP process in turn feeds into and
2 receives updates from the Cal ISO's transmission planning
3 process. And finally, IRP oversees compliance and planning
4 by LSEs and orders procurement when necessary.

5 It's a complicated web, but it works to ensure
6 that state agencies and market actors are moving together
7 in the same direction so that our generation and
8 transmission system is on track to meet our climate goals
9 while maintaining reliability and affordability.

10 Next slide.

11 So within integrated resource planning at the
12 CPUC, there are two key uses for land use. The first use
13 is in the development of the portfolios themselves. IRP
14 staff utilize the RESOLVE Capacity Expansion Model to
15 support the development of the portfolios. It's used to
16 create an optimal least-cost portfolio that informs what
17 type of resources and how many are needed within specific
18 time horizons. And in RESOLVE, land-use screens serve as
19 inputs to the model to help determine the magnitude and
20 location of resource potential that RESOLVE can choose to
21 optimize amongst. I'll be talking more about this in the
22 next few slides.

23 The second use of land-use screens is in the
24 busbar mapping of the portfolios being transmitted to the
25 ISO for the annual TPP. And we'll be going more into this

1 later in the workshop.

2 Next slide, please.

3 IRP and the RESOLVE model itself use a broad
4 array of inputs and assumptions. These assumptions include
5 resource potentials for the various renewable resources
6 across California and the wider West. And we rely on land-
7 use screens to help establish these resource potentials.

8 The inputs and assumptions were last developed at
9 the start of the previous IRP cycle back in 2019. And with
10 the current new IRP cycle, staff are working on an update
11 to the inputs and assumptions. This effort was kicked off
12 last fall. And the updated draft inputs and assumptions
13 document will be shared publicly in Q2 of this year.

14 As part of these updates, staff will be
15 overhauling the resource potentials in the RESOLVE areas.
16 And as part of that update, CPUC staff are planning to
17 incorporate the new CEC land-use screens once they are
18 complete. These resource potentials used in RESOLVE are
19 developed by applying a series of screens to filter out
20 areas not suitable or not preferred for development. That
21 process of screening begins with an area-wide potential for
22 onshore wind or, in the case on the right here, solar. You
23 can see at the top figure, this shows the estimated solar
24 capacity factors across the entire state of California.

25 The first screens we apply are a series of

1 techno-economic constraints, which represent areas where
2 resources physically cannot be built, like in bodies of
3 water or steep terrain, or areas of limited economic
4 viability, such as very low estimated capacity factors or
5 very small candidate project areas. These screens are
6 being updated as part of the new inputs and assumption, and
7 I'll talk about them in more detail next.

8 After these techno-economic screens are applied,
9 we then apply the broader land use environmental screens,
10 which includes the legally and administratively protected
11 areas. For recent portfolios, IRP has been using a screen
12 that combines RETI category one and two exclusions as those
13 screens, but specifically includes the least-conflict areas
14 from the San Joaquin Valley study and the preferred
15 development areas from the Desert Renewable Energy
16 Conservation Plan.

17 It's this third step here, the land use and
18 environmental screens, where the CPE staff plan to utilize
19 the new CEC's land-use screens, which will be replacing
20 these screens that I had just described.

21 Next slide, please.

22 So the table here on the right is a preview of
23 the proposed techno-economic exclusions from the upcoming
24 draft of the 2022-2023 IRP inputs and assumptions (I&A).
25 An important note is that this I&A process is still ongoing

1 with the, as I said before, the draft report and
2 stakeholder review coming in the next few months, so these
3 criteria are not finalized and may be further adjusted
4 based on feedback.

5 These exclusions are centered on the physical and
6 economic viability limitations based on the technological
7 assumptions for the resource types. These exclusions, as I
8 mentioned earlier, include the steep slope areas,
9 exclusions around urban areas and areas of high population
10 density, and exclusions around key infrastructure such as
11 airports, railways, and highways.

12 And then on the more economic side of things, we
13 have exclusions around minimum capacity factors and minimum
14 potential project areas.

15 It's important to, again, note that these screens
16 do not exclude based on legally and administratively
17 prohibited areas. Those areas, as well as screens centered
18 around prime farmland or flood zones, those are left for
19 the assessment in the subsequent land use and environmental
20 screens. So some of those areas, like the legally and
21 administrative protected areas, are eventually excluded
22 from the final resource potentials, they're just not
23 excluded in this techno-economic screen.

24 And as noted here at the bottom, although these
25 screens have been in development, the CPUC staff have been

1 sharing the screens with the CEC for their work on the
2 land-use screens. And so we've been having back and forth
3 and have been refining these screens throughout the past
4 few months.

5 And for example, some of the few key changes that
6 have been made since the last CEC workshop in the fall
7 include a decrease in the excluded minimum candidate
8 project areas down to 0.5 megawatts per kilometer squared,
9 the re-inclusion of military lands as a prohibited area,
10 and then the removal of exclusions centered on wetlands and
11 prime farmlands because those are better accommodated
12 within the CEC's land use sets that they are developing.

13 Next slide.

14 So these two maps depict the remaining potential
15 for the utility-scale solar on the left in yellow, and
16 onshore wind on the right in blue, after the draft techno-
17 economic exclusions have been applied. The bold solid
18 black lines indicate the resource areas into which the
19 resource potential is binned for use in the capacity
20 expansion model.

21 Next slide.

22 So our capacity expansion model RESOLVE does have
23 some geographic granularity to selecting what renewable and
24 storage resources. And this allows -- this granularity
25 allows the application of different capacity factors, cost

1 assumptions, and importantly available transmission
2 capacity and potential transmission upgrade cost. So these
3 resource zones or resource areas have been formed around
4 the transmission system, the existing transmission system,
5 as shown on the bottom left, and key constraints, so key
6 transmission constraints that were identified in the ISO's
7 recent transmission capability estimates white paper.

8 With some approximations and simplifications,
9 each resource area is centered around a major transmission
10 constraint or set of transmission constraints. So the
11 shape of these zones or resource areas are guided by the
12 transmission system. In total, we have ten areas for solar
13 and storage and, at most, 15 areas of wind and geothermal
14 within the main California modeling area; we have
15 additional out-of-state resources, particularly for wind.

16 I'll note, though, it is important to consider
17 that although we have 15 possible areas for wind and
18 geothermal, that not all of those areas will have resource
19 potential in them, particularly after the screens are
20 applied. So RESOLVE is actually going to be modeling fewer
21 than 15 for wind or for geothermal.

22 And so for each of these RESOLVE resource areas,
23 once all the screens have been applied to the resource
24 potential, the amount of megawatt potential is summed up
25 and that serves as the amount of -- the total amount that

1 RESOLVE could choose from.

2 I'll finish with a quick note about the total
3 number of 10, and then, like I said, the 15 for each
4 resource type, is that that number is trying to strike a
5 balance between capturing the geographic and transmission
6 constraint granularity versus the RESOLVE computational
7 load. As we increase the number of resource areas, the
8 RESOLVE runtime can significantly increase, making running
9 the model unwieldy. So we are trying to balance those two
10 factors when we've developed the number of resource areas
11 that we have.

12 Next slide, please.

13 So I will finish my summary of how the resource
14 potentials are used in capacity expansion there and turn it
15 over to the CEC to go into the details.

16 MS. BRAND: Thank you so much, Jared.

17 Okay, Hilarie, can we go to the next slide,
18 please? And one more. Forward. Great.

19 Okay, so next, Saffia and I will present an
20 update on the draft land-use screens for estimating
21 technical resource potential informed by public comments
22 received to the October draft. So in the following slides,
23 we'll get into the details of how staff have responded to
24 the public comments that were submitted and proposed
25 modifications that we would like to make. We are seeking

1 additional public input into these proposed modifications
2 prior to finalizing the staff report later this spring.

3 Next slide, please. Okay.

4 This might be the most important slide in my part
5 of the presentation, the intended use of this information.
6 So it's important to clarify and spend some time describing
7 what this analysis is and what this analysis isn't.

8 So the models and the draft land-use screens that
9 you'll see in the following slides, they're for use in
10 electric system planning, including SB 100 modeling and
11 integrated resource planning. They are intended to inform
12 these high-level estimates of technical resource potential
13 rolled up, for example, at the level that Jared just shared
14 of transmission zones. They're not intended to be used on
15 their own to guide the siting of generation projects nor
16 assess project-level impacts.

17 So these are for supporting system-wide modeling,
18 for long-term energy planning. They are not seeking to
19 identify specific development zones on the ground or
20 locations for projects.

21 So next slide, please. Great.

22 I'm going to go very quickly through this because
23 both Anthony and Jared laid a great foundation for how
24 technical potential is estimated, but I'm going to go
25 through this very quickly.

1 So just to recap what we heard from Jared,
2 there's a couple of different key steps in estimating
3 technical resource potential. There's the application of
4 the techno-economic exclusion datasets or the techno-
5 economic exclusion layer. That is the map with green,
6 second box over to the right. Then to that, we apply a
7 protected area layer that's meant to capture areas where
8 development is legally or legislatively precluded. And
9 then to that, the CEC applies additional environmental and
10 land use spatial data to refine down the technical
11 potential estimates.

12 What remains is then summed up to help inform the
13 technical resource potential for electric system modeling.
14 And the map on the far right has the RESOLVE zones as an
15 example that Jared just shared with you to show how this
16 information has been rolled up to that scale to then become
17 an input into modeling.

18 Next slide, please. Okay.

19 So Jared also provided a great overview of the
20 land-use screen that has previously been used by the state
21 agencies. So this slide here is meant to serve as a
22 reference to you all in public comments to refresh everyone
23 on what the contents of that most recent land-use screen
24 are.

25 So this land-use screen was used in integrated

1 resource planning and the last SB 100 Joint Agency Report.
2 It includes all the components that you see in the rows
3 there, from techno-economic exclusion layer to exclusions
4 from RETI, and then the priority development areas from the
5 DRACP and the San Joaquin Valley A Path Forward least-
6 conflict stakeholder planning process were included as
7 inclusion areas.

8 The map here on the right shows the solar
9 resource potential footprint from that land-use screen.
10 And in blue, we have outlined the boundary of the San
11 Joaquin Valley from the San Joaquin Valley stakeholder
12 process, because this is an area that I want to highlight
13 on the next slide to discuss some of the public feedback
14 that we've received about this screen in the past.

15 So next slide.

16 So one of the pieces of feedback that we received
17 about the land-use screen that has been used for several
18 years now by the energy agencies is that it is not
19 including information or not including resource potential
20 from some areas of the state where there are either
21 opportunities for low-impact renewable resource development
22 or areas where we're seeing a lot of commercial interest
23 and ongoing renewable resource development.

24 So this map here is meant to show, again, we have
25 the solar resource potential in purple. And in green, we

1 have solar footprints from a new dataset that my colleague
2 Gabriel will be sharing a little bit later today, the CEC
3 solar footprint dataset. And what we're trying to show
4 here is a comparison between where solar energy development
5 has taken place and where resource potential was identified
6 in the last land-use screen.

7 So onto the next slide, please.

8 As I mentioned in the timeline slide at the
9 beginning, the CEC staff started a process at the beginning
10 of 2022 aligned with the 2022 Integrated Energy Policy
11 Report Update to take a look at the information that has
12 been used in the last land-use screen, as well as
13 environmental information that was used in SB 100 resource
14 mapping and busbar mapping and go through an interagency
15 and public process to review those datasets, review the
16 methods, and make updates.

17 Between January and October of last year, we
18 hosted three workshops that discussed the process and
19 potential updates to the land-use screens. And again,
20 during that time, we worked with staff from multiple state
21 and federal agencies to discuss the data that was being
22 used and opportunities for updates.

23 In October, the CEC staff released a draft staff
24 report and a draft results data viewer documenting that
25 process and the proposed updates to the land-use screens.

1 The CEC received 27 docketed comments and nine public
2 comments to our October workshop. And I'm going to
3 summarize some of our high-level takeaways from the
4 thoughtful feedback that we received.

5 One of the first points was that additional
6 public process steps would be helpful before finalizing the
7 cycle of updates. And today's workshop is directly in
8 response to that. We wanted to create another opportunity
9 to provide feedback into the process.

10 The second high-level takeaway is that there were
11 gaps in the protected area layer that the agencies were
12 using, and that there were some important datasets that
13 needed to be added to that. And Saffia will describe that
14 more in her slides next.

15 We also heard from multiple commenters that there
16 should be more discussion around solar resource potential
17 in critically over-drafted basins as defined by the
18 Sustainable Groundwater Management Act.

19 And then finally, we received a number of
20 comments that really recommended that the land use
21 evaluation for the next SB 100 report include evaluation of
22 the land use-related non-energy benefits of distributed
23 energy resources.

24 We also received several comments relative to
25 busbar mapping and the land use and environmental

1 evaluation that's done for that process that we'll describe
2 later on in the workshop.

3 Next slide.

4 This slide here is meant to capture and summarize
5 the three land-use screens and their updated information
6 that were proposed in the October draft staff report.

7 These draft land-use screens were heavily informed and
8 built on past screening approaches and past datasets used
9 in land-use screening. They incorporated the same datasets
10 but updated with newer information wherever possible.

11 A common question that we received was why we had
12 three land-use screens, and it was because our team
13 proposed to use each screen in a different way to support
14 the evaluation of land use and environmental implications
15 in long-term energy planning, so some similar parallels to
16 what Anthony presented in terms of making different
17 assumptions about land availability and really
18 understanding what the implications might be in planning.

19 Having multiple screens which contains different
20 assemblages of environmental data allows our team the
21 analytical capability to compare the tradeoffs and
22 implications across different scenarios.

23 I won't read through all three of the draft land-
24 use screens from October in detail, but this slide is a
25 reference for public comments and reviewing the updated

1 proposal that we're going to share today. And at the
2 bottom of this slide, there are links to the October draft
3 staff report which provides much more information and the
4 workshop slides from October as well.

5 Next slide, please.

6 So that brings us to today. In October, we put
7 out three draft land-use screens with proposed updates to
8 data. Today, based on public feedback and comments, we're
9 proposing two land-use screens for estimating technical
10 potential for land-based wind and utility-scale solar.
11 These two proposed screens modify and replace the three
12 that were proposed in October. The screens largely rely on
13 the same datasets from the October proposal with some new
14 data additions or modifications to the method, such as
15 thresholds, as recommended in public comments or feedback
16 from agency partners.

17 We will also today share an updated proposal for
18 land use evaluation and resource potential estimation for
19 geothermal energy resources. And later on in the
20 presentation, we will detail updates and method changes
21 specifically.

22 Next slide.

23 So this slide here presents a snapshot of the two
24 proposed land-use screens that we're sharing today. The
25 first row shows where staff proposed their use. So we're

1 proposing a core land-use screen, which would be the
2 default set of land use assumptions that we would recommend
3 for integrated resource planning and across all the
4 portfolios in SB 100 modeling.

5 We're also proposing what we're tentatively
6 calling an SB 100 climate resilience study screen, which
7 would be a sensitivity or study scenario in the next SB 100
8 report. This screen would bring in additional information
9 around terrestrial climate resilience that you'll hear more
10 about in just a little bit.

11 So this slide describes the modified screens.
12 It's in a similar format, so in your comments, you can go
13 back and compare it to the October proposal and to the
14 previous land-use screen that's been used by the energy
15 agencies.

16 I do want to highlight a couple of different
17 points on here. So I've already highlighted where staff
18 would propose to use these screens.

19 The second thing I want to highlight is if we
20 look down to the results and the statewide potential, both
21 shown in acreage and then also in capacity, the core land-
22 use screen identifies 5.4 million acres for utility-scale
23 solar, which roughly translates to around 780 gigawatts of
24 capacity using a capacity density conversion of 7 acres per
25 megawatt. For comparison, in the 2021 SB 100 report, the

1 core scenario selected 70 gigawatts of utility-scale solar.
2 So, therefore, the draft screen identifies over ten times
3 the resource potential selected in the last SB 100 report.
4 And this provides the capacity expansion model that is
5 used, flexibility and optionality, when selecting a
6 portfolio of resources and modeling.

7 The other point I want to make is on the land-
8 based wind. So the revised screens identify more land with
9 wind resource potential as compared to the October draft.
10 This is driven by several factors, including proposed
11 changes to the techno-economic exclusion layer, which Jared
12 outlined, as well as proposed changes to the cropland
13 model, which will be described by Saffia next.

14 We also propose to use a different capacity
15 density metric for wind from the October staff report to
16 what's reported today.

17 And then the final point I'll make is for
18 comparison, the last SB 100 report selected 12 gigawatts of
19 land-based wind from within California and across the
20 western interconnection. And you can see on the slide here
21 for land-based wind in the core scenario, we have around
22 3.4 million acres, or 84 gigawatts of technical potential.

23 Next slide, please.

24 So, with that, I'm going to hand the presentation
25 off to my colleague Saffia Hossainzadeh to talk you

1 through, specifically, the changes that are being proposed
2 in the updated screens.

3 MS. HOSSAINZADEH: Thank you, Erica. Alright.
4 Thanks.

5 Now I'll go into greater depth explaining our
6 modifications since October.

7 Next slide, please.

8 So, here are the main topics of change that have
9 been made.

10 The base exclusions, which are the areas where
11 solar and wind renewable energy development is considered
12 off-limits, have been adjusted. This includes the techno-
13 economic layer, which you already heard about from Jared,
14 and we also updated the protected area layer.

15 We filled data gaps based on feedback we received
16 from the public and other agencies after the October draft.

17 Number three, we have updated how the general
18 public lands, development focus areas, and variance process
19 lands are considered. These are BLM lands in the DRECP.

20 We are now including general public lands as having
21 resource potential, which we did not include before, and
22 are more accurately partitioning the DFAs by technology
23 type.

24 Next point, number four, is we're using, has to
25 do with the use of the CEC cropland model. The cropland

1 model is a suitability model that the CEC developed and
2 shared in October which emphasizes soil quality in the
3 presence of existing crops.

4 Next, our use of the Conservation Biology
5 Institute's terrestrial landscape intactness is being
6 brought out more prominently. We are using it in the core
7 land-use screen scenario and we use it standalone, not as
8 part of a suitability model.

9 And finally, we have revised our approach to the
10 biological component of the land-use screens. We are
11 proposing to apply individual datasets instead of an
12 integrated suitability model to refine the technical
13 resource potential for use in energy system modeling.

14 Next slide, please.

15 So here you can see visuals of the two components
16 of the base exclusions. The map on the left in teal shows
17 the areas that are excluded by the techno-economic factors.
18 The map on the right, shown in purple, are the protected
19 areas that preclude energy development due to the area's
20 specific designation of use. They include large swaths of
21 public land, such as national parks, monuments, historic
22 sites, state parks, wildlife reserves, and conservation
23 areas.

24 BLM lands contain several categories of protected
25 areas. The National Landscape Conservation System is one

1 component, which includes wilderness areas, wilderness
2 study areas, wild and scenic rivers, among other
3 designations. There's also areas of critical environmental
4 concern, or ACECs, recreation management areas, and greater
5 sage-grouse habitat management areas that are brought into
6 this layer.

7 Areas of U.S. Forest Service land that are
8 protected came from inventoried roadless areas and special
9 interest management areas on U.S. National Forest lands.
10 This brings in experimental forests and research natural
11 areas, among others.

12 We drew from California-specific datasets to
13 include easements and Gap Status 1 and 2 conservation
14 lands.

15 Those are the main categories of the protected
16 areas that make up this layer. An appendix section at the
17 end of the slides lists the data sources used in this area,
18 in this layer.

19 Next slide, please.

20 So here's a map showing all the additions to the
21 protected area layer that we've compiled since October,
22 with the previous protected area layer overlaying them,
23 shown in gray. Some of these added layers, like ACECs, the
24 California Desert National Conservation Lands, wild and
25 scenic rivers, had already been partially included from

1 other data sources in the last report. So the majority of
2 their footprints aren't visible here, but the improved
3 data -- with the improved data sources, we've been able to
4 fill the gaps in those designations.

5 We also have several new standalone datasets,
6 like Mono Basin National Forest Scenic Area, Alabama Hills
7 National Conservation Area, and Vinagre Wash Special
8 Management Area.

9 We're also now including extensive and special
10 recreation management areas and off-highway vehicle
11 recreation areas on BLM land, which hadn't been included
12 before.

13 And a new category of protected areas includes
14 local land. We queried the two main protected area
15 databases, CPAD and PAD-US, the CBI edition, for city- and
16 county-level open spaces and parks. That brings in the big
17 swaths of Orange in the Owens Valley.

18 We also included the proposed Molok Luyuk or
19 Walker Ridge expansion to the Berryessa Snow Mountain
20 National Monument.

21 Overall, our changes to the protected area layer
22 increased the footprint by about four percent. And again,
23 all of the sources for these datasets can be found in the
24 appendix. And if you have any questions, contact me or the
25 team.

1 Next slide, please.

2 Alright, the BLM created a land use plan
3 amendment as part of the DRECP. BLM allocated the
4 development focus areas and variance process lands as areas
5 that could facilitate renewable energy generation while
6 also preserving the important ecosystems of the California
7 desert conservation lands.

8 The CEC received several public comments related
9 to DRECP lands after the release of the draft staff report
10 in October. Staff takeaways from these comments included
11 the following: DFAs need to be correctly partitioned by
12 technology type; the capacity of already developed
13 renewable energy projects on BLM land needs to be
14 subtracted out from the resource potential estimates; and
15 the resource potential shouldn't consider the entire
16 footprint of a DFA or variance process land because there
17 are still limitations to the development.

18 So we propose to address all these points.
19 Working with BLM, we have corrected the DFA partitioning by
20 technology type. We will remove all existing project
21 facilities on DRECP land from the resource potential
22 estimate. And we will apply the statewide land-use screens
23 over the DRECP, DFAs, VPLs, and GPLs so that the entire
24 footprint of that layer won't contribute to our statewide
25 technical potential estimate. And after meeting with BLM,

1 we propose to include the general public lands with
2 resource potential estimation.

3 So each of these components of the BLM lands are
4 broken down and displayed in the map seen here on the
5 slide. The black areas scattered throughout are the GPLs.
6 The pink areas are the VPLs. And the remaining areas of
7 teal, orange, blue, and purple are the DFAs broken up by
8 technology type.

9 Next slide, please.

10 Alright, now we'll turn to updates on the CEC
11 cropland model. The input datasets and configuration of
12 the suitability model for areas of the state used for
13 cropland have remained the same, so we didn't change
14 anything to the model. But we proposed two modifications
15 to the application of this model.

16 First, we proposed to change the method for
17 partitioning the threshold from Jenks natural breaks to the
18 mean value. And here you see a plot of how much of the
19 cropland model gets partitioned into the high category and
20 will be removed from the technical resource potential
21 estimate as you vary the threshold. Overall, there is a
22 linear rate of decrease in the percent of the cropland
23 model that is removed as you increase the threshold, about
24 ten percent per unit threshold. So partitioning the model
25 by scores -- partitioning the model scores by a middle

1 value like the mean is a mathematically fitting way to bin
2 the data into high and low categories.

3 Moving the threshold to the mean results in a
4 small increase of solar renewable resource technical
5 potential, approximately 11 gigawatts or 78,000 acres. And
6 we also limit the cropland model's use in our current
7 screens to solar technology only. Because of the large
8 spacing between turbines, it can be compatible amid
9 agricultural fields.

10 Next slide, please.

11 So CEC staff received multiple comments that the
12 land-use screens should consider implementation of the
13 Sustainable Groundwater Management Act, or SGMA. These
14 maps here depict solar technical potential in relation to
15 the critically over-drafted basins as defined in SGMA. The
16 basins are shown in purple and the technical potential is
17 shown in black.

18 The purpose of this slide is to demonstrate the
19 increase in solar resource technical potential within these
20 basins from the previous land-use screens to the current
21 proposal. The increase in solar technical potential is
22 driven by multiple factors, including moving away from
23 using only the least-conflict areas identified in the
24 SJV, or the San Joaquin Valley, stakeholder planning
25 process, as well as changes to the techno-economic

1 exclusion layer.

2 For this cycle of updates to the land-use
3 screens, staff consider the increase in technical resource
4 potential within these basins reasonable for the purposes
5 of statewide transmission planning while accounting for the
6 range of potential land use change futures that could be
7 driven by initiatives to bring the groundwater basins back
8 into balance under SGMA.

9 Next slide, please.

10 So in the current proposed screens, we still use
11 the Terrestrial Landscape Intactness data layer developed
12 by Conservation Biology Institute, but we treat it
13 differently. Terrestrial intactness brings in a critical
14 element of the land use evaluation, estimating the amount
15 of human impacts in the landscape.

16 In the October draft, the CEC created an
17 additional suitability model that combined intactness and
18 distance to a protected area with the intention to identify
19 areas that are intact and close to protected areas as least
20 suitable for new energy development. Based on feedback
21 from the public and collaborating agencies, instead of
22 using the suitability model approach, staff proposed to
23 incorporate the raw CBI intactness dataset into the core
24 and SB 100 study scenarios.

25 The dataset itself is a result of a suitability

1 model, CBI's Environmental Evaluation Modeling System, or
2 EEMS model, which brought in over 25 variables or datasets
3 to create this layer. The intactness data layer is
4 partitioned at the mean, so any cell greater than the mean
5 is removed from consideration for a refined statewide
6 technical resource potential estimate.

7 Next slide.

8 So for the representation of biodiversity-related
9 factors of the land, the previous October draft screen used
10 a suitability model based on ACE connectivity and ACE
11 biodiversity datasets. ACE has been used in other major
12 planning efforts by the state, 30x30, (indiscernible) and
13 past CEC planning efforts, and it's intended to be used for
14 statewide planning scale.

15 Based on feedback from the public and
16 collaborating agencies, instead of using the CEC
17 biodiversity model, staff proposed to instead use the data
18 directly, as well as other important biological and
19 habitat-related datasets, including the U.S. Fish and
20 Wildlife Service Critical Habitat.

21 Next slide, please.

22 So here's a list of the datasets that will be
23 brought together to form what we're calling the biological
24 planning priorities component of the screen. Each of these
25 layers is stacked in the GIS, and the union of their

1 extents forms the footprint of the areas of the state that
2 would be removed from consideration for statewide technical
3 resource potential estimates.

4 So first, we include ACE terrestrial
5 biodiversity. This is a summary dataset of the best
6 available information of the biodiversity measure of
7 amphibians, birds, mammals, plants, and reptiles in
8 California. It takes into account three factors, native
9 species richness, which is the diversity of all species in
10 the state, irreplaceability, which highlights unique
11 endemic species, and rarity, the diversity of rare species,
12 into a single measure. So all three of those factors are
13 brought together as the overall biodiversity score. And we
14 remove the top 20 percent of values, or the rank 5.

15 Next is connectivity, which evaluates how an area
16 contributes to wildlife being able to move from one habitat
17 to another. Fours and fives represent essential mapped
18 linkages and corridors, especially if they are the last
19 remaining habitat connections for a species, or if a
20 priority species move within them. And we obtained a
21 recently updated version from CDFW that incorporates new
22 ungulate data.

23 And next we have irreplaceability as part of our
24 screen. Irreplaceability measures the uniqueness of
25 habitat areas for rare endemic species. This means it

1 emphasizes in the highest ranks rare species that can only
2 live in a limited geographic extent. We take the top 40
3 percent of values of irreplaceability for our screen.

4 So next, we have the U.S. Fish and Wildlife
5 Service critical habitat, including the bi-state sage-
6 grouse proposed critical habitat. These are areas
7 considered essential for the conservation of threatened and
8 endangered species. Past state land-use screens have
9 included critical habitat, including the DRECP SJV screen,
10 and the CEC received comments from public participants and
11 agency partners to continue use of these data and
12 estimating technical resource potential.

13 For wetlands, we use a recently enhanced version
14 from CA Nature, which includes a more comprehensive
15 category of wetlands.

16 So using this new approach, especially for the
17 high-ranking subsets of ACE data, we are more precisely
18 carving out the most important aspects of the data so that
19 those priority areas get screened from our statewide
20 estimate of technical resource potential.

21 Using the suitability model approach in the last
22 October draft, we would effectively be averaging the two
23 input components, biodiversity and connectivity, so that if
24 one component was high while the other was low, like if one
25 had a score of four while the other one had a score of one,

1 it would remain in the technical resource potential. While
2 areas where both datasets had a rank, had a middling rank
3 of 3, it would be swept up into the high category and would
4 be screened out. So in this new approach, we are making
5 sure we're getting -- we're including the topmost ranks of
6 ACE data as being excluded in the high category, in the
7 screened category.

8 Next slide, please.

9 Alright, so the SB 100 climate studies screen
10 uses all of the components previously described plus ACE
11 climate resilience ranks 4 and 5. These components are
12 depicted in the figure shown here. The areas of the state
13 in gray are the base exclusions for solar. Then in green
14 are the areas of the resource potential that are removed by
15 the core land-use screen for solar. The areas in pink,
16 along the central coast ranges, scattered in the West
17 Mojave and Northern California, these areas are removed by
18 ACE climate resilience ranks 4 and 5. And so that leaves
19 the area in blue as what remains as technical potential
20 under the climate study screen. S

21 o these high-ranking climate resilience scores
22 identify where climate refugia will exist under future
23 climate conditions. These are areas of the state where
24 climate conditions will still be suitable for the majority
25 of species and vegetation that currently reside in it.

1 Since SB 100 is a long-term planning effort where
2 electric system modeling will project out for 25 years in
3 the future, we were motivated to design a study scenario
4 that incorporates terrestrial climate resilience.

5 Conservation of climate refugia is a part of adaptation
6 planning and climate change -- or adaptation planning for
7 climate change, so it's a way of building resilience to
8 climate change if we plan for it now.

9 Further, the inclusion of this dataset addresses
10 the recommendation from the last SB 100 Report, which is
11 quoted here on the slide, to better align future system
12 modeling with terrestrial climate resilience data.

13 Next slide, please.

14 Alright, so here are the results of applying the
15 base exclusions and land-use screens for solar technology.
16 On the left, the map that contains purple is the DRECP SJV
17 solar technical potential most recently used by the CPUC in
18 integrated resource planning and in the last Joint Agency
19 SB 100 report. In the middle, we have our current results.
20 This is the technical resource potential footprint that
21 remains after applying the core land-use screens, which
22 includes the base exclusions. On the right, we have the
23 results from the SB 100 study screen, which is exactly the
24 same as the core screen, except climate resilience is also
25 incorporated into the refinement of the resource potential

1 area.

2 Notice large contiguous blocks of land in the San
3 Joaquin Valley, the West Mojave Desert. These are all
4 areas where the resource quality, the solar irradiance, is
5 high and developer interest has been established. Notice
6 that the study screen removes a lot of the resource
7 potential in the coast ranges and along the central coast.
8 This is not the final result, though. This is an interim
9 geoprocessing step that will be aggregated to a larger
10 scale before being passed as input to the electric system
11 model.

12 Next slide, please.

13 So in order to feed the available resource
14 potential to the electric system model, like RESOLVE, the
15 technical resource potential is broken up into these coarse
16 areas, like these provided by the CPUC. And we sum all
17 technical resource potential that falls within each area to
18 get a total acreage or megawatt per RESOLVE area.

19 Next slide, please.

20 So, finally, this is the information that can
21 be -- or this information can be summarized into a table
22 showing how much resource potential is available from each
23 RESOLVE region. This will be used in the capacity
24 expansion modeling. Here you see the different RESOLVE
25 areas in the leftmost column. Then I've listed the total

1 area of each RESOLVE region. So for Northern California,
2 it's huge, over 40 million acres, but most of them are only
3 a few million acres.

4 Then I've listed the acres that remain as
5 technical resource potential after applying the core
6 screen. So you can see how much acreage exists within each
7 RESOLVE resource area. Then I show the percent of that
8 total RESOLVE area that has a resource potential. So
9 mostly we have, you know, less than ten percent in most
10 regions.

11 So you can see that in the largest -- yes. So
12 with these upper limits on how much resource potential is
13 available per region, RESOLVE or any other capacity
14 expansion model can more accurately project how much new
15 resource potential from each of these areas will be needed
16 in an optimized future resource portfolio.

17 So under the SB 100 climate study screen,
18 resource was reduced in all the regions. Now, when the
19 electric system model receives this altered distribution of
20 the resource potential, we will see how it responds. With
21 a limited amount of resource coming from those areas, does
22 it swap the resource from solar to wind or another
23 technology from that area, or does it increase the amount
24 of solar from another region of the state? So what pathway
25 does it select to achieve the state's policy goals when

1 given a slightly more restrictive statewide distribution of
2 resource potential?

3 So this is what we're trying to test when giving
4 the electric system model multiple scenarios. And that's
5 more clearly seen in the last two columns of this table.
6 So that's where we get the total resource potential coming
7 from the core scenario from each of the RESOLVE regions and
8 the resource potential coming from in the study scenario.

9 Next slide, please.

10 For wind, on the left, we -- so now here's the
11 results for wind. So on the left, we have the DRECP SJV
12 resource potential. In the middle, we have our newest
13 proposed technical resource potential under the core land-
14 use screen, and that's shown in blue. And on the right, we
15 have the technical resource potential for the SB 100 study
16 screen scenario. The spatial distribution of the technical
17 resource potential shows that a significant amount of the
18 resource potential exists in the San Joaquin Valley and the
19 Sacramento Valley. Additionally, in southern Imperial
20 County, we have a large footprint of resource potential as
21 well.

22 You can see areas of critical habitat, like areas
23 of the bi-state and greater sage grass area are much
24 diminished, especially compared to the DRECP screen. But
25 as mentioned before, this is an intermediate processing

1 step. We don't use this detailed spatial footprint of
2 technical resource potential by itself.

3 Next slide, please.

4 And instead, we sum the total resource potential
5 by these regions, for example, in the case of the current
6 RESOLVE configuration. And for wind, they're slightly more
7 refined than solar. We have slightly smaller areas.

8 Next slide, please.

9 And so we can summarize the information, the
10 spatial information, into a table like this. We have each
11 resource area listed on the left, the total area of that
12 zone listed next, and then the total acreage of resource
13 potential that meets the screening criteria for the core
14 scenario shown in that third column from the left, and the
15 percent coverage of that RESOLVE area is next shown. You
16 can see, generally, we have much smaller percent covers,
17 even with the smaller footprint of technical resource
18 potential for wind.

19 And then finally, we have the resource potentials
20 shown in gigawatts converted from acres using a 40-acre-
21 per-megawatt conversion factor. The climate study screen
22 provides a reduction in the resource potential across all
23 regions. And so this refined upper limit of resource
24 potential from each region is ultimately how careful
25 evaluation of the land use priorities using explicit

1 geospatial datasets described previously is used in
2 electric system planning.

3 Next slide, please.

4 Alright, so now we're going to get into the
5 geothermal methods.

6 Next slide, please.

7 So for geothermal technologies, we apply a
8 different methodology than for solar and wind, since the
9 hydrothermal resources that traditional geothermal power
10 plants utilize are only present in discrete areas of the
11 state. The occurrence of geologic conditions required to
12 develop geothermal energy are somewhat unique. There needs
13 to be permeable rock that allows for sufficient flow of
14 steam or heated fluids that have temperature greater than
15 about 130 degrees C and that occur within a mile or two of
16 the Earth's surface. So the hot fluids and steam produced
17 from these depths is generally used to spin a turbine and
18 generate electricity.

19 In California, these conditions occur in
20 sufficient number and magnitude, but the state is the
21 leading producer of geothermal energy in the United States.
22 For our purposes, the goal for estimating statewide
23 geothermal technical resource potential that can be used in
24 planning efforts is to not only estimate the quantity of
25 resource potential, but also the surface footprint that

1 bounds where the heat from the geothermal reservoir could
2 be developed. So this is where the land use evaluation
3 will come into play.

4 Next slide, please.

5 Alright, so first we'll turn to estimating the
6 magnitude of the geothermal resource potential. We use the
7 USGS 2008 assessment of identified geothermal systems,
8 which gives a point location for each geothermal system and
9 estimates the underlying reservoir's volume, temperature,
10 and electric power generation potential or the resource
11 potential. We use their mean estimate in our work. We
12 also include the Truck Haven resource identified in an
13 environmental impact statement by BLM. And so the total
14 estimate of resource potential for the state is about 5,444
15 megawatts.

16 This figure here shows the locations of the
17 geothermal systems identified by the USGS with the addition
18 of the Truck Haven site west of the Salton Sea. The USGS
19 data is split by those that intersect within two kilometers
20 of a geothermal field, and those are shown in the brown
21 triangles, and those that don't intersect those geothermal
22 fields that are shown in green.

23 Next slide, please.

24 So in our next step, we estimate a surface area
25 that delineates the geothermal resource. This is where any

1 land-use screen would be applied to refine the resource
2 potential to a better representative value that takes into
3 account statewide constraints. The majority of the
4 geothermal resource potential identified lie within or
5 within two kilometers of the established geothermal fields.
6 These are the KGRAs and geothermal field boundaries shown
7 in the Department of Conservation 2002 map and CalGEM's
8 online data map data portal of field boundaries.

9 So we sum the geothermal systems identified by
10 USGS that fall within two kilometers of each geothermal
11 field to get the total resource potential from that spatial
12 footprint, so this is what you see here in the figure. The
13 orange are those known geothermal fields. And overlaying
14 them are the point resources identified by USGS.

15 Next slide, please.

16 So for points that remain outside of a geothermal
17 field, we approximate the land footprint that can be used
18 to access and develop the geothermal field. We buffer the
19 point resources by a certain radius using a power density
20 of ten megawatts per square kilometer. We then calculate a
21 radius and circular area to define the region needed to
22 support the estimated resource potential.

23 So next slide, please.

24 So this chart shows the area of those constructed
25 geothermal fields. The areas are at least in order of

1 magnitude less than the other established known geothermal
2 fields, like the KGRAs and the CalGEM field boundaries.

3 Next slide, please.

4 Ten megawatts per square kilometer was chosen for
5 all resources outside of the geothermal fields on the basis
6 of an international study by Wilmarth et al. in 2020. This
7 chart from the study shows the power density from over 100
8 electricity producing geothermal fields worldwide and their
9 estimated reservoir temperature. Staff reviewed the
10 temperature data from the USGS data and for these
11 resources, they are relatively low temperature, between 130
12 and 180 degrees. The temperatures would therefore be more
13 typical of resources that would have a power density of
14 about ten megawatts based on the Wilmarth et al. 2020 data.

15 Alright, next slide, please.

16 Alright, so now that we've created geothermal
17 resource map with a 2D representation of the extent of the
18 geothermal fields, we can apply a land-use screen to them.
19 So here on the right are all the geothermal fields and the
20 protected area layer is shown in blue. So like in the
21 October draft, we exclude the resource potential from
22 geothermal fields that lie entirely within the protected
23 area.

24 Next slide, please.

25 Alright, so the final component of our analysis

1 must include an estimate of the geothermal resource that's
2 already in use by currently operating power plants. For
3 that, we've turned to the QFER, the Quarterly Fuel and
4 Energy Report, which provides main plate capacities of all
5 generators of all the geothermal plants, one megawatt or
6 greater. And again, we can partition those plants and sum
7 them by geothermal field to get a representative value for
8 each field.

9 And in the case of the geysers, this approach
10 doesn't work. It produces inconsistent results because the
11 actual production has changed over time. And the main
12 plate capacities of those sites are overestimating the
13 production. So instead, we use an estimate by Lovekin et
14 al., which was based on energy generation data, so that's
15 how we can subtract out the megawatts in use.

16 Next slide, please.

17 So again, for electric system modeling, we'll
18 summarize the statewide estimate by broad transmission
19 zones and pass the results along, summarized by coarse
20 geographic zones, like shown here. The vast majority of
21 resource potential is coming from Imperial, and the vast
22 majority of technical resource potential comes from within
23 previously established geothermal fields. So this gives us
24 a total net undeveloped technical resource potential of
25 about 3,354 megawatts.

1 Next slide, please.

2 So in summary, here are the results from all
3 three renewable resources. We have the total acreage
4 listed for each scenario, as well as their total estimated
5 resource potential in gigawatts and megawatts and their
6 proposed uses.

7 So this ends our presentation on the land-use
8 screen. When this cycle of updates is complete, the full
9 methods will be documented in a revised report. And if
10 there's any additional analyses you'd like to see, we'd
11 appreciate your ideas on that, as well as any questions or
12 comments on our approach. Thanks.

13 MS. BRAND: Thank you so much, Saffia.

14 So Hilarie, you can advance to the next five or
15 six slides.

16 But for the audience, just to let you know,
17 attached to that set of slides are appendices with a table
18 of all of the datasets in the screens and links to where to
19 find the information.

20 So the next presentation we have is from Travis
21 David with the STEP's GIS Unit on updates to the draft
22 results data viewer, so I'll hand it over.

23 MR. DAVID: Hello. Can you hear me? My name is
24 Travis David. I'm a Research Data Specialist with the
25 California Energy Commission, and I specialize in

1 geographic information system projects. Using this
2 technology, I created draft land-use screens Map Viewer,
3 which I'll describe in this presentation.

4 Next slide, please. Or actually, one more slide.
5 Yeah.

6 This Map Viewer is available to anyone who is
7 interested and can be accessed through internet web
8 browsers. The latest draft SB 100 land-use screen datasets
9 are available as map layers, which can be viewed through
10 the Map Viewer or downloaded. We are sharing this
11 information to provide transparency to our proposed draft
12 results, input datasets, and methodologies. We hope this
13 information will assist stakeholders in preparing written
14 comments responding to this workshop as we finalize this
15 iteration of the SB 100 land-use screens.

16 This Map Viewer is not currently live. We intend
17 to make the viewer live tomorrow, Tuesday, March 14th.

18 Next slide.

19 A web link to the Map Viewer will be posted to
20 the land-use screens workshop website. Data will be
21 available for download from the Energy Commission GIS open
22 data website. Here are the web links to those sites, which
23 will also be linked to from the Map Viewer itself.

24 Next slide.

25 The image to the right is what the Map Viewer

1 looks like. It's a map of California with some of the SB
2 100 land-use screen layers on by default with groups of
3 buttons on the top left, top right, and lower left corners.
4 The top left buttons are for navigating around the map.
5 You can use them to zoom in, zoom out, or return to the
6 default mapped extent, which is the whole state of
7 California. The top right buttons are for interacting with
8 the map.

9 You can search for an address or location, open
10 the layer list and legend. The majority of my presentation
11 focuses on what data layers are available in this button.
12 There's also a button to change the base map to things like
13 aerial imagery or detailed street maps. And there is also
14 a measuring button, which allows you to measure distances
15 or areas.

16 The lower left buttons open up information about
17 the Map Viewer and link you to a web page where you can
18 learn about what each data layer represents and where you
19 can download each dataset.

20 Next slide.

21 Let's focus on the layer list button found in the
22 upper right. The button looks like three squares stacked
23 on top of each other. When you open the button, there are
24 two tabs, a tab called layers, which allows you to toggle
25 different layers, many organized into groups, on or off.

1 The open eye symbol next to each layer means that the layer
2 is toggled on. A crossed out eye means that it's toggled
3 off. And the legend tab shows you what the symbols of all
4 active layers represent.

5 In this example, we're looking at the solar
6 resource potential by RESOLVE region core scenario. The
7 darker the shade of each region means the higher calculated
8 resource potential.

9 Next slide.

10 The first group of layers available in the layer
11 tab is existing electric infrastructure. It contains solar
12 footprints in California, a new dataset that Gabriel
13 Blossom will discuss in the next presentation. Other data
14 layers in this group are California power plants, electric
15 substations, and electric transmission lines. These
16 datasets are not -- were not used in developing the land-
17 use screen results but are helpful in comparing the screens
18 which are used for planning with existing related
19 infrastructure.

20 Next slide.

21 The next group of layers are counties and RESOLVE
22 regions. Counties are there for context and RESOLVE
23 regions are the CPUC-made unit of measure that the land-use
24 screens projected resource potential results are rolled up
25 into.

1 Next slide.

2 After that is the results group which contains
3 solar, wind, and geothermal resource potential for core
4 land use and climate study screens with resource potential
5 broken down by RESOLVE region. These results are what goes
6 into other planning models and workflows.

7 Next slide.

8 There is a group of solar and wind base
9 exclusions which combine techno-economic and protected
10 areas exclusions with some known resource areas from the
11 Desert Renewable Energy Conservation Plan as an inclusion.

12 Next slide.

13 Solar and wind protected areas or exclusions are
14 composed of datasets that represent areas that have legal
15 restrictions regarding renewable energy development.

16 Next slide.

17 Solar and wind techno-economic exclusions are a
18 set of exclusions created by the CPUC with datasets that
19 take into account things like railroads, airports, slope,
20 flood zones, military installations, and others.

21 Next slide.

22 There is a group showing cropland suitability
23 model where a cropland is given a suitability score on a
24 scale of one being the least suitable lands for crops and
25 ten being the most suitable. The top layer shows the

1 threshold we have assigned as an exclusion for land-use
2 screening. The bottom layer is the full cropland model.

3 Next slide.

4 Landscape intactness is a measure of landscape
5 condition based on the extent to which human impacts such
6 as agriculture, urban development, natural resource
7 extraction, and invasive species have disrupted the
8 landscape across California. Terrestrial intactness values
9 are higher in areas where these impacts are less prevalent.

10 Next slide.

11 Climate resilience is a measure of sensitivity,
12 adaptive capacity, magnitude of exposure, and potential
13 spatial disruption of course vegetation communities under
14 various climate change scenarios. Climate resilience ranks
15 4 and 5, the two highest ranks from the California
16 Department of Fish and Wildlife's Areas of Conservation
17 Emphasis Project, are exclusions in the SB 100 land-use
18 screens.

19 Next slide.

20 And finally, we have a group of biological
21 planning priorities which include data layers of high
22 biodiversity, connectivity, irreplaceability, critical
23 habitat, and wetlands which are exclusions in land-use
24 screening.

25 Remember all of these layers can be toggled on or

1 off. You can search. You can use the search button to
2 zoom to your area of interest. The base maps can be
3 changed depending on your preference. And the measuring
4 tool is available if you're curious about distances or
5 calculating areas.

6 Next slide.

7 The folder looking button in the lower left
8 corner of the Map Viewer navigates to a web page that lists
9 all of the mapped datasets along with information
10 describing what each dataset is and a link to download the
11 data in different formats.

12 If you click on one of the datasets -- next
13 slide, this is the final slide of my presentation -- it's
14 what the page looks like for each dataset. You're given a
15 variety of information about the data, including when it
16 was published and updated, a summary of what the dataset
17 is, and a link to download the data in various formats.

18 Thank you for watching my presentation. I hope
19 the Map Viewer is useful in showing our land-use screen
20 results and methods. We look forward to hearing back from
21 you in the comments.

22 The Map Viewer will be live tomorrow, Tuesday,
23 March 14th. Thank you.

24 MS. BRAND: Thank you so much, Travis.

25 Okay, next slide, please, Hilarie.

1 Next, we have our last presentation for this
2 section from Gabriel Blossom from the STEP's GIS unit.

3 MR. BLOSSOM: Thank you, Erica, for that
4 introduction. My name is Gabriel Blossom. I've been
5 working with the CEC for the better part of four years now.
6 Some of that work has been with SB 100, where I did work on
7 solar footprints. And earlier you saw the crop model and I
8 also worked on that.

9 Okay, let's get started talking about solar
10 footprints.

11 So what we did is we created a layer. It is a
12 GIS dataset that represents nonresidential solar footprints
13 in the state of California. By nonresidential, I mean, we
14 didn't map anything that was on someone's roof, basically.
15 And we tried to capture areas that were about a half acre
16 and larger.

17 And by footprint, we don't mean that we're
18 mapping actual solar panels. What we're mapping is the
19 facility that the solar panels are placed on, so a lot of
20 times that's represented by a fence line, a rooftop,
21 parking lots, that kind of thing.

22 And they included both rural and urban areas.
23 This mapping project started, roughly, in November of 2022
24 and finished up in February 2023, so that was about a four-
25 month process to put it together.

1 Okay, next slide, please.

2 Okay, so the last IEPR meeting that we had in
3 October, it was identified that we needed to have some
4 solar footprints to kind of do a gut check against some of
5 the other work that we were doing to sort of truth it. So
6 we looked around and we weren't able to find anything that
7 was up to date, so we went on ahead and decided to make our
8 own on the basis of aerial imagery interpretation and
9 previous existing solar footprints.

10 Next slide, please.

11 Okay, so the layers that we found that were
12 pretty useful was one from the Quarterly Fuels and Energy
13 Report, that's called QFER. Another one was from the
14 Conservation Biology Institute that was put together in
15 2017. There is a Utility-scale Solar Points from UC
16 Berkeley. And there was also a layer from the journal,
17 *Nature*, that we were able to find from 2022.

18 In terms of imagery, we used ESRI-based data
19 imagery, which is updated at varying dates. We used the
20 National Agricultural Imagery Program, NAIP, data from
21 2020. And we used Sentinel-2 satellite imagery at 10-meter
22 resolution for January 2023.

23 So what we did is we had two analysts do a sort
24 of old-fashioned imagery interpretation where we started
25 one analyst at the northern part of California, one analyst

1 at the southern part of California, and we just basically
2 worked our way towards the center scanning imagery as we
3 went to try to find all of the solar facilities and hand
4 digitize them. Some of the solar facilities were
5 identified earlier by the four layers I mentioned, and
6 others were offset. And then by the end of it, what we did
7 is we just merged everything together.

8 Okay, so the next slide, please.

9 Okay, let's talk a little bit about results.

10 We ended up with 5,435 footprints with a mean
11 size of 23 acres, and that was, again, as of February 2023.
12 There was a total of 128,790 acres in the state of
13 California.

14 We made a couple of observations because we spent
15 a lot of time scanning imagery, so you kind of, you know,
16 you notice things. And one of the things that we noticed
17 was a very, very fast rate of solar development in the
18 state of California. I can't say exactly how fast, I just
19 know that there were times where I would go into an area
20 and digitize all of the rooftop solar, and then you'd go
21 back two weeks later, and as we updated the imagery, and
22 there's five new sites. And that was happening all the
23 time, so it was very much a moving target.

24 Other observations included that large warehouse
25 districts in Southern California, particularly in the L.A.

1 Basin, are missing rooftop solar. The reason for that is
2 currently unknown. You can speculate as to why, but I'm
3 not going to. It's just not there.

4 Rooftop and parking lot solar are more common in
5 newly developed areas. So as you see the new developments
6 outside of urban cores, where they're putting up, you know,
7 a new Kohl's, new Walmart, that kind of thing, you're
8 seeing a lot more solar in those areas than you are in
9 previously developed areas.

10 Solar gradually becomes less dense moving north
11 to south, which makes perfect sense because you end up
12 with - or, sorry, south to north, which makes perfect sense
13 because you end up with less solar quality as you move
14 north, more clouds.

15 School grounds have a surprising amount of solar.
16 There are -- I would argue that maybe most large school
17 parking lots in the state of California have some solar
18 parking on them. It's also common to see solar, especially
19 in Southern California, to see solar in playgrounds, which
20 is nice because the kids get shade from that.

21 There are a lot of farms, relatively small farms,
22 that have small to medium solar on the facilities. That
23 was quite common.

24 Another observation is that solar on asphalt is
25 very difficult to identify at times. Even a human eye can

1 almost barely see it.

2 Next slide, please. Actually, can we go back to
3 that previous one? I just want to talk about the image
4 there.

5 That's the solar parking lot that's under
6 construction. So this is a good example of a digitized
7 solar parking lot where -- and that's Six Flags, if I'm not
8 mistaken -- where you can see they're still putting in
9 construction on the left-hand side of the parking lot.

10 And the other picture over on the right-hand side
11 is the L.A. Warehouse District. You can see only one of
12 those warehouses has solar on it, whereas you might expect
13 to see much more solar in that area.

14 Next slide, please.

15 Just some patterns that we recognized during this
16 digitization effort. Large-scale, moving from left to
17 right, large-scale farming solar tends to look like the
18 pattern that we captured there. It's not necessarily
19 continuous. It tends to be broken up by parcels, the small
20 to medium-sized solar facilities that are common throughout
21 the San Joaquin Valley shown in the next image over.

22 We've also got, here in Sacramento, we've got
23 rooftop and parking lot solar for IKEA and the adjacent
24 Walmart in West Sac. There's an example of school parking
25 there adjacent to the IKEA image. And of course we've got,

1 where we're at now, we've got the DOCO, so that's the
2 King's Stadium, Golden One Center, followed by -- with
3 Macy's next to it.

4 Above that, there's an area in L.A., east of
5 L.A., where we've got some large rooftop solar followed
6 by -- and also some, what appears to be a landfill that's
7 been filled in and has some medium-scale solar placed upon
8 it.

9 And then on the far right, we have the Ivanpah
10 Solar Facility, a rather famous facility most of us have
11 seen on the way to Las Vegas.

12 If we could go to the next slide, please?

13 So this is sort of an overview of the total of
14 the state. As you can see, most of the solar footprints
15 are in areas where you've got a reasonable degree of human
16 footprint already.

17 And in terms of next steps, one of the things
18 that we're doing is we're classifying the solar data into
19 ground, rooftop, and parking lot solar. We're also going
20 to classify it by urban and residential. And we're going
21 to add a unique date field. Everything that I've
22 identified so far is going to be round one. But if we set
23 up an update schedule per year, then we'll be able to apply
24 that date field and hopefully actually watch it grow over
25 time.

1 And that concludes my presentation. I think
2 we've gone pretty fast, didn't we?

3 MS. BRAND: Thank you so much, Gabriel. I
4 appreciate it.

5 Okay, thank you so much to all of our
6 presenters -- excuse me -- Anthony, Jared, Saffia, Travis,
7 and Gabriel.

8 We're now going to spend some time here on
9 questions on the presentation before we move into a break
10 and then the second section on today's agenda, so if our
11 presenters could turn on their cameras in case questions
12 are directed towards you?

13 I first want to check and see if the Vice Chair
14 has any questions for our presenters from the CPUC or the
15 CEC on the contents of their staff presentation on
16 technical resource potential.

17 VICE CHAIR GUNDA: Thanks, Erica. That was
18 pretty dense material I'm trying to digest, but really
19 appreciate, you know, the GIS work and the mapping work
20 that both Travis and Gabriel presented. I think it's
21 really good kind of work in the spirit of the vision of the
22 CEC on making more and more data available. So just wanted
23 to thank you both. And we could, you know, potentially
24 have briefings separately on those things and understanding
25 the features of that.

1 So I want to, you know, save most of the time for
2 the questions from potentially the stakeholders and public
3 who are calling in, but maybe start off with a couple of
4 questions.

5 Saffia, if we could pull up your -- bring up your
6 slides? I just wanted to get a little bit of one of the
7 summary slides you presented in terms of acreage and the
8 total potential. You kind of went, you know, pretty
9 thoroughly, but I'm trying to digest the information that
10 you were providing, specifically the San Joaquin Valley and
11 the fallowed lands and how we could use some of those
12 additional lands for development. I think it's something
13 we've heard before.

14 Would you expand on that a little bit, kind of
15 what did we do since October in terms of specific
16 coordination with the stakeholders and what kind of input
17 you tried to include in expanding that overall area? It
18 would be helpful if you could just expand on that. I'm
19 specifically thinking about the process.

20 MS. HOSSAINZADEH: Yeah, sure. I don't know if,
21 Hilarie, if you could go to the slide called solar resource
22 technical potential and critically over-drafted basins? It
23 probably will give people a good visual.

24 But basically, so for that assessment, all I'm
25 doing is showing -- so in purple you have the critically

1 over-drafted groundwater basins. And then I'm showing in
2 black where each of the technical resource potential exists
3 under these various screens. So DRECP SJV screen, that's
4 what's currently being used in IRP. So the resource
5 potential is just kind of in those more defined areas like
6 the San Joaquin Valley least-conflict areas as identified
7 in that report. And then actually a lot of that, kind of
8 that groundwater basin, that's not really part of the San
9 Joaquin Valley, there's an abundance of technical resource
10 potential there to the west of the San Joaquin Valley.

11 And then in the middle plot, that's showing just
12 the resource potential under our October draft land-use
13 screen one. So this would be including, you know, the base
14 exclusions, so that would reduce the technical potential,
15 and also just ACE biodiversity, the CEC biodiversity model,
16 which was ACE biodiversity and connectivity, and then also
17 the cropland model. So that also came into play here.

18 So that created a total footprint much higher
19 than what we saw in DRECP, but still 1.3 million acres
20 amongst -- throughout the whole -- throughout all of the
21 critically over-drafted groundwater basins.

22 And then if we move to our current proposed core
23 land-use screen --

24 VICE CHAIR GUNDA: I'm sorry, one clarification
25 there.

1 MS. HOSSAINZADEH: Yes?

2 VICE CHAIR GUNDA: So between DRECP, and then as
3 you go down there, you know, to the west, that little --
4 I'm sorry, the almost kind of a trapezoid shape or a
5 rhombus shape to the side, you know, some of the solar
6 potential actually reduces in some of the areas and some
7 areas it grows. Could you kind of share a little bit on,
8 you know, where it decreases and where it grows, like
9 between the DRECP to the work that is currently here?

10 MS. HOSSAINZADEH: Yeah.

11 VICE CHAIR GUNDA: So specifically I'm thinking
12 like, why did some of the areas reduce from DRECP? If you
13 could just kind of point to that a little bit, that'd be
14 helpful.

15 MS. HOSSAINZADEH: Yeah, so the, I mean, the
16 main -- the bulk of the San Joaquin Valley that's shown
17 here in the DRECP SJV screen, the only places where
18 technical potential is allowed was what was already
19 determined by the San Joaquin Valley A Path Forward study,
20 that planning process. So it only included areas -- it was
21 about 500,000 acres of areas considered that was agreed
22 upon in that planning study as priority least-conflict
23 areas, potentially least-conflict areas, and least-conflict
24 areas, I believe. Those were the terms. So like in the
25 San Joaquin Valley, that's basically the only, everywhere

1 else was excluded from technical potential except for those
2 areas designated by that path planning process.

3 So that's why like when we don't have that
4 constraint and we're not including that specific planning
5 process in the October draft, that's why we see so much
6 more resource potential. But we still have a significant
7 overlap with the priority least-conflict areas of the San
8 Joaquin Valley A Path Forward study, because actually we
9 ran numbers and I think we have about 50 to 60 percent
10 coverage of those priority least-conflict areas. So that's
11 why like in the main central valley, San Joaquin Valley,
12 you're seeing growth in resource potential.

13 And then as far as why it reduces, I mean,
14 overall, like we're just kind of uniformly applying those
15 ACE datasets in our biodiversity model and then the
16 cropland model as well. We're uniformly applying all those
17 datasets throughout the whole state. So it's just you're
18 coming up with, you know, the proportion of those areas
19 that would be removed by the thresholds chosen, whereas,
20 you know, in the DRCPSJV, there wasn't any suitability
21 modeling being done, I don't believe, so it would just be
22 the result of these kind of discrete datasets that were
23 chosen in the RETI planning process.

24 VICE CHAIR GUNDA: Got it. And so the other
25 piece, I know we've heard in October and after the draft

1 results, is kind of thinking about the commercial interest
2 and how do we overlay that. You know, could you walk
3 through an example on how that was overlaid and how it's
4 considered?

5 MS. BRAND: You want me to take that one?

6 MS. HOSSAINZADEH: You can go.

7 MS. BRAND: Okay. Yeah. So I think one of the
8 ways that we double checked the proposal for the land use
9 greens was against the solar footprint dataset that Gabriel
10 just presented. We wanted to understand if areas with
11 technical resource potential, how they did or did not
12 relate to where we have been seeing utility-scale solar
13 development within the state.

14 So the San Joaquin Valley is a good example of
15 that. I showed a slide earlier where we had the resource
16 potential from the DRCPSJV screen compared to where solar
17 installations have gone, and there's been quite a bit of
18 solar installations within the San Joaquin Valley outside
19 of the lands from that stakeholder process that were
20 identified as priority least conflict.

21 So taking this region as an example from a
22 process perspective, we took the feedback that more
23 resource potential should be identified in the San Joaquin
24 Valley because the San Joaquin Valley least-conflict
25 stakeholder planning process is about seven years old, six,

1 seven years old by now. We have commercial development
2 happening there and multiple stakeholders commented on the
3 potential for lower impact solar energy development.

4 So we took a look at the October proposal. We
5 met with our state agency partners that focus on
6 agriculture, that focus on groundwater to kind of double
7 check our assumptions and our use of data or understanding
8 both cropland, the geographic extent of the over-drafted
9 basins to get their perspective into how the information is
10 used, as well. And that, the results of those
11 conversations, have led us to the results here on the right
12 where we feel like we are identifying more technical
13 resource potential in the San Joaquin Valley than has been
14 identified in past screens.

15 Again we're not, you know, trying to map these
16 parcels here in black as places to develop projects. What
17 we're trying to say is overall from the San Joaquin Valley,
18 are we assuming enough like gigawatts of utility-scale
19 solar for the purposes of input to either long-term energy
20 study like an SB 100 or the transmission planning process?
21 If we look back to the 20-year transmission outlook, you
22 know, most of the utility-scale solar development studied
23 in that scenario was located in the San Joaquin Valley.

24 So I would say those are all ways that we tried
25 to check our decisions against what we were seeing in other

1 studies, what we were seeing in the solar footprint dataset
2 and what we were hearing from public commenters.

3 VICE CHAIR GUNDA: Alright. Thank you.

4 One quick question to Travis.

5 You know, Travis you talked about kind of some of
6 the data that you're making available, you know, starting
7 tomorrow, you know, what are the steps, you know, being
8 taken to -- I mean, especially in this land use work, maybe
9 the first question is do we have confidential information
10 designation to any of the information that we currently
11 have in terms of the locations of the power plants? I just
12 am not sure. I have no idea. So if you want to educate,
13 what level of confidentiality do we maintain on some of
14 that information?

15 MR. DAVID: Yeah. Our power plant dataset has
16 come into question in the past, whether or not that
17 information is confidential. There were alternative
18 datasets online, including a power plant dataset, public,
19 made by the Department of Homeland Security. And there's
20 also a substation transmission line dataset, as well. And
21 we took that information and went to our legal department
22 to see if location alone deems power plants confidential
23 and it was found that it's not. So that's the reason why
24 we made our power plant and substation and transmission
25 line data public.

1 Any of the other SB 100 land-use screen datasets
2 are not confidential.

3 VICE CHAIR GUNDA: So I'll give you a quick
4 question for you. I don't know if it's really formulated
5 yet, but as you were presenting quickly there and I was
6 trying to digest, is some of the work that you're doing
7 automated in terms of, you know, pixel reading and such or
8 are you manually really looking at those areas?

9 MR. DAVID: Oh, for creating the solar
10 footprints?

11 VICE CHAIR GUNDA: Yeah.

12 MR. DAVID: Do you want to do that Gabriel?

13 MR. BLOSSOM: Yeah. No, it was a manual
14 digitization effort. And the reason we decided to go that
15 route was because we noticed from the previous work that
16 had been done that solar tended to exist in clusters, so we
17 didn't actually have to scan the entire state. We scanned
18 the vast majority -- well not the vast majority. We
19 scanned the majority of the areas where we were likely to
20 find solar, so it's not like anybody was looking up at
21 like, you know, the mountain ranges or anything like that
22 because there's nothing up there.

23 So yeah, it was a hand digitization effort just
24 using a little fashion human pattern recognition.

25 VICE CHAIR GUNDA: Thank you. One last question

1 and I'll stop there.

2 and maybe Erica, maybe 30,000-foot level, you or
3 Jared can speak to this, how much information do we have on
4 the geolocation of the clusters, like CAISO clusters?

5 So in the CAISO cluster process, is there a geocoding of
6 the project? One. If it is, you know, how do we crosswalk
7 or not with the datasets that we're using for commercial
8 interest?

9 MS. BRAND: Jared, do you want to take that one
10 since --

11 MR. FERGUSON: Yeah, I can.

12 MS. BRAND: -- it comes up a lot in the busbar
13 context?

14 MR. FERGUSON: Yeah, and this definitely comes up
15 a lot in the busbar context because we do pay a lot of
16 attention to the commercial development interest per the
17 queues that the ISO and the other interconnection agencies
18 have. And with that information for like the ISO
19 interconnection queue, we have the point of
20 interconnection. So we typically have the substation or in
21 some cases just the transmission line where the proposed,
22 where the project wants to interconnect at, so we know like
23 the county and then the substation location.

24 For most resources, we can assume that it's not
25 going to be significantly far from that substation because

1 the cost of interconnection is a big cost factor to
2 consider, but we don't have an exact location of -- we
3 don't have like a longitude latitude of the proposed
4 projects. We just have that interconnection information
5 and the county level information.

6 VICE CHAIR GUNDA: Alright, Jared, so just to
7 follow up on that, in terms of the CAISO's, you know, queue
8 reform and things that they're trying to do right now, how
9 much of our kind of land-use screens to your spatial work
10 is used to inform, you know, the opportunity and the
11 commercial interest and such in the queue reform?

12 MR. FERGUSON: I'm not sure how much it gets
13 applied directly into the queue reform. It does go in
14 through our busbar mapping work into the portfolios that
15 get sent for the transmission analysis. But on the queue
16 development side, the ISO is not incorporating any sort of
17 land use analysis when they're conducting the
18 interconnection studies for the most part, and they rely on
19 information from the developers on such things as site
20 exclusivity or information like that.

21 And so I don't think on the ISO side they do much
22 land use analysis with respect to the interconnection
23 process. They're mostly focusing on the transmission
24 implications of the interconnection.

25 VICE CHAIR GUNDA: Thank you.

1 Okay, I'll pass it back to you, Erica. Thank you
2 so much.

3 MS. BRAND: Okay. Thank you.

4 So we will now move to questions from attendees,
5 but we please ask that this time be used for questions
6 specific to the content that was just presented, so
7 clarifying questions of the like. If you have comments,
8 please hold them for the public comment period, which will
9 happen at the end of the workshop.

10 So we are first going to start with questions in
11 the room, and then we'll move to virtual participants.
12 We'll be using the raised hand for virtual, so if you have
13 questions, you can raise your hand now to get in line, but
14 I will first turn and see if there's any questions from the
15 audience.

16 Okay, so we have a question. Please state your
17 name and your affiliation for the record, please.

18 MR. KIM: Daniel Kim with Golden State Clean
19 Energy. I just wanted to ask a question regarding the
20 busbar mapping discussion that just occurred.

21 In regards to the kind of the way in which the
22 constraints are analyzed in the busbar mapping, the land
23 use component of the RESOLVE modeling is a critical piece
24 of identifying how those constraints are determined, and
25 then whether those constraints, once they're, you know,

1 met, then the resource allocation will then go to another
2 zone that doesn't have a constraint.

3 I think the, at least from what I understand, the
4 goal of kind of some of the reforms in busbar mapping is to
5 look at potentially identifying maybe new kind of
6 transmission upgrades that are necessary in areas that do
7 have constraints, for example, in the San Joaquin Valley
8 with solar, because not all constraints are equal, I guess
9 is what I'm trying to ask, you know, the staff.

10 Because when you look at the amount of acreage
11 that is now being studied in or being pushed into the
12 RESOLVE model for studying in the San Joaquin, I would
13 argue that the transmission capacity study should also be
14 aligned to the acreage study, so that given that there's
15 constraints already there, the ability to put in a new,
16 you know, transmission line or a new transmission
17 infrastructure to increase capacity actually results in,
18 you know, actually creating more generation from the land
19 that is being actually identified through the process.

20 So I'm just wondering how that's kind of working
21 in parallel, you know, as you're developing this land use,
22 the new updated land-use screen?

23 MS. BRAND: Thank you for that question, Dan. So
24 we'll actually be covering more about busbar mapping in the
25 next couple of presentations.

1 Jared, is there anything that you want to speak
2 to Dan's question now, or are you planning to address some
3 of those pieces in your presentation next?

4 MR. FERGUSON: I can briefly address some of it
5 now.

6 MS. BRAND: Okay.

7 MR. FERGUSON: And I think sort of towards the
8 point that what we've been seeing with these land-use
9 screens is that in the San Joaquin Valley area, we have
10 likely over a million acres remaining, and if you do the
11 rough conversion to potential megawatts, it's over, I don't
12 want to do math live, it's at least over 100 gigawatts, so
13 it's definitely in these cases --

14 VICE CHAIR GUNDA: Erica, just FYI, I think the
15 conference room, you might want to turn off the mic.

16 MS. BRAND: Thank you.

17 MR. FERGUSON: Okay. I think one of the other
18 mics is still on, I was hearing. Alright. I don't hear
19 myself anymore, I think.

20 So what I was saying is that, yeah, I agree that
21 I think in a lot of cases, the transmission capacity is the
22 limiting factor. And we rely on the Cal ISO's
23 transmission, various studies, mostly recently. And then
24 as part of updates this year, we're going to be getting new
25 information from the ISO on transmission capacity and, more

1 importantly, potential transmission upgrades. And they're
2 developing and amalgamating that information from the
3 recent Cluster 14 Phase 1 Study results, and that Phase 1
4 Study had, you know, over 100 gigawatts of potential
5 resources, so we're hoping to get a lot of transmission
6 upgrade information from that to expand on the past upgrade
7 information we've been using, because as our portfolio
8 sizes have been getting larger, we've been running into an
9 issue of having limited transmission information.

10 I'll just note, we can't hear anything on the
11 remote side of things.

12 VICE CHAIR GUNDA: Yeah, we can hear now.

13 MS. BRAND: Okay, great. Thanks.

14 VICE CHAIR GUNDA: Sorry, Erica, we were able to
15 hear you, but not the person who might be speaking you're
16 looking at.

17 MR. HARRIS: Okay. So now I presume you can hear
18 me?

19 VICE CHAIR GUNDA: Yes.

20 MR. HARRIS: So at a high level, you start with
21 your technical potential, and then you adopt certain
22 additional screens, and ultimately, you are left with a
23 list. Is there an effort at that point to rank order the
24 value of the locations that are on that remaining list? So
25 not sort of this sequential Boolean approach that gets you

1 there, but once you get there, then how do you rank order?
2 Is that a policy question, or is there a technical effort
3 to rank order those?

4 Thank you.

5 MS. BRAND: That's a good question.

6 So hopefully, yeah, that's off. Let us know if
7 you hear echoing, audience or other panelists, please.

8 So, correct, we start with statewide hypothetical
9 resource potential, and then we apply the different
10 datasets and layers to refine it down to technical
11 potential estimates across the state. That then becomes an
12 input to capacity expansion modeling. And so how the
13 capacity expansion model decides to select and build the
14 portfolio is going to depend on a number of optimization
15 factors within the model itself. So it might select some
16 solar from Southern California, some solar from the San
17 Joaquin Valley for different reasons that can range from
18 reliability and cost to others.

19 We have received comments that it could be
20 helpful for the energy agencies to go from, you know, broad
21 suitability maps to refine it down to developable areas,
22 but that would be a different initiative itself to do
23 something like that. That would require a lot more on the
24 ground information and local input to kind of take
25 information from a statewide scale using broad factors down

1 to more refined, like, developable areas.

2 MS. ANDERSON: Erica, this is --

3 MS. BRAND: Alright. Thank you.

4 MS. ANDERSON: -- this is Hilarie. Could you
5 have the last commenter state and spell his name for the
6 court reporter and the transcript? Because we missed that
7 with the mic being off.

8 MS. BRAND: Okay. Thank you. Do you mind doing
9 that again, Frank? Do you want to come over here?

10 MR. HARRIS: Hi. My name is Frank Harris. I'm
11 with the California Municipal Utilities Association.

12 MS. ANDERSON: Thank you so much.

13 MS. BRAND: Thanks for your flexibility, Frank.

14 Okay, Hilarie, I think we can move to questions
15 from our virtual attendees if you'd like to help facilitate
16 that for us, please?

17 MS. ANDERSON: Of course.

18 So anyone that -- again, this is for questions on
19 the content specific to what was just presented, if you
20 have any comments that are public comments, those will wait
21 for the public comment period at the end. So, go ahead and
22 hit that raised hand if you do have a question. If you are
23 on the phone, that will be star nine to raise your hand and
24 then a star six to unmute. And so I have a couple.

25 We have Shannon Eddy, so Shannon, you should be

1 able to unmute your line and ask your question.

2 MS. EDDY: Excellent. Hi, everybody. Thanks for
3 today and really for all the work that you all have done
4 over the last few months. I know this has not been an easy
5 lift. So I have five questions. I'm going to try to shear
6 it down to four. Is it better for me to just do them one
7 by one or do you want them all at once? I'm thinking one
8 by one.

9 MS. BRAND: I'm thinking that, too, so we can
10 remember them all better.

11 MS. EDDY: Okay. Alright. And I didn't --
12 anyway, Shannon Eddy with the Large-Scale Solar
13 Association.

14 So the first one, and Erica and Saffia have heard
15 this, although I'm hoping you may have dug in on some of
16 this, the use of the climate resilience layer does exclude
17 quite a bit of acreage on the model assumption that species
18 are going to migrate to those areas due to climate stress.
19 And so it's logical to assume that other areas and habitat
20 will be degraded under those same climate stress
21 conditions, but that's not reflected in the model. Is the
22 state planning to model climate stress related habitat
23 degradation for this planning purpose?

24 MS. BRAND: So just to take a quick step back,
25 one of the reasons that our team has proposed to use the

1 terrestrial climate resilience data is thinking to the
2 recommendation from the last SB 100 Joint Agency report
3 that says that future system modeling would be aligned with
4 the executive order for natural and working lands climate
5 strategy, and so this is one of the datasets that came to
6 us when we asked for feedback on what kind of spatial
7 information might be available to help align our modeling
8 estimates.

9 You know, I am not familiar with any analyses
10 underway that looks at the other side of the question
11 you're asking in terms of land that may be degrading. But
12 that is something that we could certainly ask some of the
13 collaborating agencies that we've worked with that have
14 authority and jurisdiction, you know, over specific species
15 and habitats that might be able to give us that advice.
16 It's not something that we ourselves here at the Energy
17 Commission are planning to model.

18 MS. EDDY: Okay. No, that would be great. I
19 appreciate that. It's when we consider -- well, that'll be
20 a comment thing. I'll just keep going through the
21 questions. Thanks for that, Erica.

22 Can you talk a little bit about how local
23 ordinances are currently included? I'm still threading
24 through the techno-economic exclusion layer and the NREL
25 layer and trying to figure this out, but are local

1 ordinances that prohibit, for example, solar, are those
2 included in the exclusion layers?

3 MS. BRAND: We do not have local ordinances
4 included at this time in the datasets that comprise the
5 land-use screens.

6 MS. EDDY: Okay. Thanks for that. I wasn't sure
7 just based on the NREL presentation earlier, so that's good
8 to know.

9 Can you just talk, just to lift up a little bit,
10 can you talk a little bit about the use of the core land-
11 use screen versus the SB 100 climate study screen and where
12 those will be applied?

13 MS. BRAND: So our staff recommendation is that
14 the core land-use screen would be the core set of land use
15 assumptions for integrated resource planning, so it would
16 be the land-use screen for integrated resource planning,
17 that would be our staff recommendation. And then also it
18 would be the land-use screen for all of the cases in the
19 next Joint Agency SB 100 report. And then what we'd like,
20 what we're proposing, is to have a sensitivity scenario in
21 the next SB 100 report that uses that climate resilience
22 study screen. So the SB 100 climate resilience study
23 screen would be a sensitivity in the next report, it would
24 be its own portfolio, so that we could compare the
25 differences between that portfolio against the core cases.

1 Does that help clarify?

2 MS. EDDY: It does. That's very helpful.

3 One other addendum there, and that is the 20-year
4 transmission study that the CAISO does, the core will be
5 informing that, or would the SB 100 be informing the study
6 case?

7 MS. BRAND: I feel like it might be too early to
8 say with certainty, but I believe -- and if others, if this
9 is incorrect, please correct me -- I believe it was
10 primarily the SB 100 core scenario from the last SB 100
11 study that informed the starting point scenario that then
12 went to the CAISO for the 20-year transmission outlook.
13 And so if that were to happen again, then the core land-use
14 screen would be the land-use screen that staff are
15 proposing for the next, you know, whatever iteration of an
16 SB 100 core scenario appears in the next report.

17 But I think, bottom line, it's a little too early
18 to say with certainty because that framework is still being
19 developed for the next report.

20 MS. EDDY: That's helpful. Thanks for that.

21 And then one other question, and that is it looks
22 like the protected area, the protected areas grew to a
23 certain extent. Can you clarify what the exclusion buffer
24 distance is from those protected areas? It was one
25 kilometer in the last rev.

1 MS. BRAND: So in the October draft, we had
2 proposed use of a combined model that looked at distance to
3 protected areas and intactness.

4 Correct, Saffia? Okay.

5 And in this proposal, we are just using the CBI
6 intactness model directly, so we are not proposing to use
7 the distance to a protected area component of a suitability
8 model.

9 Anything you would add to that, Saffia?

10 MS. HOSSAINZADEH: Just the protected areas layer
11 itself doesn't have any buffer attached to it.

12 MS. EDDY: Gotcha. Okay. Okay. Oh, and I said
13 I wouldn't -- I'll just make this one really quick.

14 The technology partitioning in the DRECP area,
15 does that mean that technologies will be excluded in
16 certain DFAs where specific technologies are designated, I
17 mean, one technology will be excluded over the other kind
18 of thing? I'm thinking of Imperial.

19 MS. BRAND: What we're trying to do is accurately
20 reflect what is in the DRECP Land Use Plan Amendment and
21 some DFAs only allow one type of energy development, for
22 example, or two types of technologies. And so we don't
23 want to accidentally like say that all technologies could
24 be developed there when that DFA itself might have a
25 specification within the land use plan amendment.

1 MS. EDDY: Got it. Okay. Thank you. Looking
2 forward to the next session. Appreciate your time,
3 everybody.

4 MS. BRAND: Thank you.

5 MS. ANDERSON: Great. Okay. Thanks, Shannon.

6 We're going to move on to our next team that's
7 raised and that's Ellen Wolfe.

8 Ellen, you should be able to unmute yourself and
9 ask your question.

10 MS. WOLFE: Hi. Yes. Thank you. My name is
11 Ellen Wolfe with Resero Consulting, and I appreciate the
12 opportunity to ask a question.

13 I have a few clients that participate in the SB
14 100 process and in IRP, and my question pertains to the
15 geographic boundary of the land-use screens at both the
16 CPUC and the CEC, and maybe in SB 100 as compared with IRP
17 if they're different.

18 For example, some of Jared's slides show that the
19 boundaries in the CPUC process don't naturally always
20 follow the state boundaries, that there are areas quite
21 adjacent to California that are on the CAISO grid from
22 which some of the California entities procure the renewable
23 resources needed to meet their goals, yet, a lot of the
24 land-use screens that I saw in the CEC presentation in
25 particular seemed very exclusively limited to California.

1 Could you address that, please?

2 MS. BRAND: Yeah, so essentially the approach for
3 in versus out of state from a land use perspective is the
4 same from the October draft where we have focused a cycle
5 of updates on updating California-specific information.
6 The information that is used for outside of California, the
7 joint agencies have in the past relied upon information
8 from the Western Electricity Coordinating Council
9 Environmental Data Task Force information.

10 We definitely heard the public comments about
11 improving out-of-state data would be important to do. But
12 from a resource and a time perspective in this cycle of
13 updates we focused on California updates, but in parallel
14 we'd like to explore opportunities and additional data
15 sources to update what might be available in the West
16 through future efforts on SB 100.

17 MS. WOLFE: Thank you. That's helpful. If I
18 could maybe just ask a follow-up?

19 I would presume from your answer that it doesn't
20 necessarily mean that you think the availability is zero
21 outside of California, but just that the results you show
22 in these slides pertain to California and you look to other
23 sources when it comes to potentially identifying resources
24 adjacent to California that can meet California goals?

25 MS. BRAND: Yeah, that's correct, and we've tried

1 to footnote wherever possible on our slides that for the
2 purposes of this deck our calculations were illustrative
3 for California, so you're correct.

4 MS. WOLFE: Thank you. Appreciate the day.

5 MS. ANDERSON: Thanks, Ellen.

6 We're going to move on to our next person who has
7 a question. It's Brian Biering.

8 If you could state your name for the record? You
9 should be able to unmute your line and ask a question.

10 MR. BIERING: Hi, it's Brian Biering with the
11 American Clean Power Association of California.

12 First off, just want to thank you all for the
13 public process, disclosing the map. All of this has been
14 really helpful to really better understand the process, so
15 really appreciate all staff suffered on that.

16 My question is directed at Jared. It was in
17 relation to how you were talking about the IRP modeling, so
18 in particular the preparation of the preferred system plan.
19 And it sounded like you were essentially going to be
20 applying the land-use screens in this cycle to inform, you
21 know, how much capacity from various zones can be selected
22 by the model.

23 An my question is if you're doing that in the
24 preparation of the preferred system plan and then you
25 prepare the capacity expansion results to then be modified

1 again by the busbar mapping, would you essentially be
2 applying the land-use screens and the limitations in
3 certain areas twice by virtue of applying it on the front
4 end and on the back end?

5 MR. FERGUSON: So we're applying it on the front
6 end and the back end, but it's in two different ways. On
7 the RESOLVE side, it's to just determine -- in the San
8 Joaquin Valley, there's 80 gigawatts of solar potential.
9 That's what the land-use screens are being applied to the
10 resource potential. So I just made up that number.

11 On the busbar mapping side, we look at a more
12 granular. We're looking at within a certain radius of a
13 substation how many acres are within the land-use screen or
14 so forth. And so that then tells us at a different
15 geographic granularity sort of like how much land around a
16 substation or in a certain area could solar be built on.
17 So we're not sort of re-slicing or we're not chipping away
18 at the amount, we're just applying it at different
19 geographic granularities between the two processes.

20 MR. BIERING: Okay. I think I get it, so thanks
21 for that.

22 And then I also wanted to follow up real quickly
23 on Ellen's question. So we've also been, you know, hoping
24 to see some, you know, better regional information coming
25 out of the busbar mapping process. And I was curious, you

1 know, even if you still focus on in-state busbar mapping,
2 you know, relative to the CAISO system, will you still be
3 identifying maximum import capability that's in upgrades in
4 particular that are needed inside CAISO system to
5 facilitate larger amounts of MEC?

6 MR. FERGUSON: Yes. And we did implement this
7 for this most recent TPP portfolios where we identified
8 areas or sort of the likely locations of out-of-state
9 resources and also the likely intertied points into the ISO
10 and noted whether or not the ISO should treat it as MEC
11 expanding or utilizing existing MEC. And most of all the
12 sort of the new generic resources selected by RESOLVE were
13 identified as MEC expanding in that process.

14 MR. BIERING: Got it. So this would essentially
15 be tracking the same way that you did the inputs and
16 assumptions for the current TPP cycle that we're about to
17 go into?

18 MR. FERGUSON: Correct.

19 MR. BIERING: Okay. Thank you.

20 MS. ANDERSON: Great. Thank you, Brian.

21 Okay, And then we have our next commenter, Kyle
22 Navis. Sorry if I missed your last name. Please state
23 your name and record. And you should be able to unmute
24 now.

25 MR. NAVIS: Hey, everyone. Thanks. This is Kyle

1 Navis with the Public Advocates Office at the CPUC.

2 First off, thanks for all the hard work that goes
3 into these. I do find myself revisiting these decks
4 regularly, so I do appreciate the resources.

5 This question is probably for Saffia, and it's
6 about geothermal. Did your geothermal screening include
7 any assumptions about enhanced geothermal systems tech?
8 And if not, do you have any plans to do so in future
9 iterations?

10 MR. FERGUSON: We can't hear you. You have to
11 have to unmute the conference room probably again.

12 MS. BRAND: On my mic? No. Okay.

13 MS. ANDERSON: There we go.

14 MS. BRAND: Okay. Go ahead, Saffia.

15 MS. HOSSAINZADEH: Okay. Yeah, no, we did not
16 include any estimate from EGS, or enhanced geothermal
17 systems. We only used traditional sources. And we came to
18 that conclusion based on feedback we received from other
19 agencies. I don't think we plan on using them going
20 forward because we feel like it's too much of a -- we don't
21 know, you know, how soon those technologies could really be
22 implemented.

23 MR. NAVIS: Alright. Thanks very much.

24 Good afternoon Thank you, Kyle.

25 Okay, that was the last hand I see raised, so

1 this is the last call for any questions online on the Zoom.
2 Use the raise-hand function. If you're calling on the
3 phone, star nine to raise your hand.

4 Okay, I'm seeing none.

5 MS. BRAND: Thank you for double-checking,
6 Hilarie. Okay, so next slide, please, Hilarie.

7 Two things. We are still going to take a five-
8 minute break, because I assume many of you, like me, need
9 it the day after daylight savings time change. And you'll
10 note that our -- it's now 3:50, so let's be back at 3:55.
11 You'll probably also notice that on the workshop schedule,
12 we had an estimated end time of four o'clock. We are going
13 over that, so thank you so much for sticking with us today.
14 Looking forward to coming back from the break to talk about
15 busbar mapping, questions, and then public comments, so
16 thank you. See you in five minutes.

17 (Off the record at 3:49 p.m.)

18 (On the record at 3:55 p.m.)

19 MS. BRAND: Alright. Well, welcome back,
20 everyone. It's 3:55 by my clock. This is Erica Brand in
21 the hearing room in Sacramento, and we are now going to
22 move on to the next part of our agenda, which is focused on
23 busbar mapping.

24 So welcome back, Jared, from the CPUC.

25 I'm going to hand it off to him to provide an

1 overview of the CPUC's busbar mapping process.

2 So thank you, Jared. Take it away.

3 MR. FERGUSON: Thanks again, Erica. I am, again,
4 Jared Ferguson, and I'm going to give a brief, high-level
5 overview of the annual busbar mapping effort.

6 Next slide. And next slide, please.

7 The busbar mapping incorporates land-use screens
8 as a process to help prepare the resource portfolios being
9 transmitted to the ISO for the annual transmission planning
10 process. As I noted before, the IRP resource portfolios
11 consists of geographically coarse amounts of resources. To
12 be studied in the TPP, however, the ISO needs the resources
13 at a substation or busbar level of granularity. Thus,
14 resource to busbar mapping is the process by which a
15 Working Group comprised of CPUC, CEC, and Cal ISO staff map
16 the high-level resources selected in the portfolios to
17 specific busbar locations.

18 Next slide.

19 The CPUC just transmitted two portfolios for the
20 2023-2024 TPP. The Cal ISO will conduct its transmission
21 analysis on those portfolios as part of the TPP and report
22 on the transmission improvements or upgrades identified as
23 needed in its final report next year.

24 This year, the CPUC transmitted, as the base case
25 portfolio, a portfolio using the 30 million metric tons by

1 2030 greenhouse gas target. And as the load scenario, the
2 CEC's 2021 IEPR's additional transportation electrification
3 scenario. Traditionally, portfolios model out ten years
4 for the TPP, but this year, the CPUC transmitted a 12-year
5 portfolio, so we modeled and mapped resources out to 2035
6 results, not just the traditional 2033 results.

7 The CPUC also transmitted an offshore wind
8 sensitivity portfolio with 13.4 gigawatts of offshore wind,
9 with over 8 gigawatts of that being on North Coast to allow
10 the ISO to continue to study the transmission needs of
11 offshore wind, complementing the ongoing CEC's-led AB 525
12 work.

13 Just note that the figure on the left here shows
14 this 2023-2024 TPP base case in comparison to past base
15 cases, and we can see that this base case has significantly
16 more than past portfolios transmitted to the ISO.

17 And the map on the bottom right shows areas of
18 possible transmission exceedances for the base case, as
19 identified in the busbar mapping analysis, and the possible
20 magnitudes of upgrades needed to address those exceedances.
21 These are just areas of potential transmission needs. The
22 ISO's TPP will study and identify what exceedances are
23 actually likely to occur and what transmission solutions
24 are necessary.

25 Next slide.

1 In the current busbar mapping methodology used
2 for this most recent '23-24 TPP, the Working Group seeks to
3 optimize map resources alignment with the five criteria
4 listed here. One, that resource is economic, has an
5 economically appropriate distance to a substation, that it
6 has availability of existing transmission capability, or
7 the availability of a cost-effective transmission upgrade.
8 We try to limit potential land use and environmental
9 impacts. Four, we try to align with commercial development
10 interest. And five, we try to map consistently to prior
11 years TPP portfolio mapping. The role of land-use screens
12 impacts primarily criteria three, but also criteria one.

13 And I will also note that we have additional
14 criteria for mapping of battery storage, including
15 prioritized mapping to air quality non-attainment areas,
16 DACs, and co-locating storage with solar.

17 CEC staff compile and conduct the land use
18 analysis of the mapping and to assess the potential impacts
19 of mapped resources using an array of datasets. This table
20 on the bottom right shows those datasets that have been
21 utilized in the most recent environmental and land-use
22 screens.

23 Next slide.

24 This slide is just a sample of the results of the
25 busbar mapping analysis from the '23-24 TPP base case,

1 specifically for resources mapped to the Tehachapi area and
2 the Big Creek hydro transmission corridor. The table here
3 shows each resource type by substation and the alignment of
4 that mapped resource amount with the busbar mapping
5 criteria. And in the final rightmost columns, we have the
6 information utilized in the additional battery mapping
7 criteria.

8 Again, the goal here is to maximize compliance
9 across all criteria for the entire mapping. Thus, we often
10 still map to areas where there is a noncompliance flag, as
11 you can see with the few level two yellow non compliances
12 and even a few level three red non compliance. Those flags
13 aren't designed to prohibit mapping to that substation, but
14 to flag the resource for further analysis by the Working
15 Group to assess the potential impacts of the non compliance
16 and whether or not that non compliance can be alleviated by
17 remapping those resources. In these final results here, it
18 was determined to keep the mapping as is, even with those
19 non-compliances.

20 Next slide, please.

21 So that was a quick overview of the busbar
22 mapping as it's been implemented and was implemented for
23 the recent '23-24 TPP. IRP staff are now just starting to
24 plan for the next cycle of busbar mapping, the '24-25 TPP.
25 As I noted earlier, the '23-24 TPP, we mapped an

1 unprecedented number of resources over 85 gigawatts
2 nameplate by 2035.

3 Just as a quick aside, the first proof of concept
4 busbar mapping, which was done for the 2018-2019 TPP, had
5 about ten gigawatts of resources mapped. So you can see
6 the significant multi-fold increase there. And for the
7 next TPP, per the recent SB 887, which requires the CPUC to
8 transmit a portfolio to the ISO modeling out at least 15
9 years into the future, the portfolio will likely have even
10 more resources to map.

11 So in preparation for the '24-25 TPP mapping
12 efforts, staff are considering significant updates to the
13 busbar mapping methodology. We're just starting that
14 process, and we've identified some high-level goals of any
15 potential changes, which include improving the land use and
16 environmental screens by implementing the array of new CEC
17 datasets.

18 We also want to better enable the mapping to
19 account for that, the increased resources, and longer
20 planning horizon associated with the 15-year timeframe.
21 And particularly, we want to see what criteria to consider
22 in potentially mapping resources away from existing and
23 already proposed substations, sort of trying to identify
24 what are ideal areas based on the various screens that
25 could be ideal for resource development.

1 We also hope to account for the rapid growth of
2 recent solar development. We want to better incorporate
3 existing footprints of resources, as CEC staff had showed
4 with their new existing solar footprint dataset.

5 We also want to assess their existing
6 interconnection impact at substations.

7 And finally, there are, in addition to those,
8 there are several other stakeholder recommendations that
9 both the CPUC has received through our annual TPP process
10 and the CEC has received in this land-use screen
11 development process that we hope to be able to implement as
12 part of these updates.

13 Quickly, I just want to note that with the
14 potential for significant changes, staff want to ensure
15 time and opportunities for stakeholders to input and review
16 on these proposed methodology changes. So we plan to
17 publicly share the draft methodology and work to
18 incorporate stakeholder feedback before we even begin
19 busbar mapping for the '24-25 TPP, so we're trying to
20 increase the level of stakeholder engagement than we have
21 done for previous TPPs.

22 I will end my quick summary there in the interest
23 of time and I'll turn it over to CEC staff to talk about
24 some of their efforts in developing the datasets and
25 screens to possibly include in the new busbar mapping

1 methodology.

2 MS. BRAND: Great. Thank you so much, Jared.

3 We're going to hand it over to Saffia for a quick
4 overview of current methods and then a discussion about
5 potential new additions that are under consideration based
6 on public feedback we've received to date.

7 MS. HOSSAINZADEH: Alright. Thank you.

8 Next slide, please.

9 Alright, so in this presentation, I'll go through
10 two topics, the current busbar mapping evaluation, land use
11 evaluation method, and also the new -- some ideas we have
12 for what could be incorporated into the new busbar mapping
13 method, evaluation method.

14 Next slide, please.

15 Alright, so just as an overview, the CPUC
16 disaggregates geographically course zonal results from
17 RESOLVE to specific substations for the transmission
18 analysis. And so we received that list of substations and
19 performed a land use evaluation on a very local 10- to 20-
20 mile area around each substation. And then we report back
21 to the CPUC metrics on that land use evaluation.

22 Next slide, please.

23 And so here I'll go through the methods that we
24 currently use, but these have been explained in more detail
25 in a previous CPUC workshop from last October on IRP and

1 busbar mapping, so I encourage you to listen to that and
2 dig into some of that, those details.

3 So first, in the first step of busbar mapping, we
4 receive a list of substations with an allocated amount, a
5 suggested amount of megawatts at each substation. We
6 geolocate them and buffer those. We create a buffered area
7 around the substation of about 10 to 20 miles, as you see
8 here on the left.

9 And also what you see here is the solar resource
10 area. So that would be the technical potential remaining
11 after applying the base exclusions. And it is split into a
12 low and high environmental implication category, and that's
13 the result of an environmental suitability model that CEC
14 staff created in the last busbar mapping effort and it was
15 used in the last couple years of busbar mapping. So this
16 is a suitability model that uses ACE biodiversity,
17 connectivity, and terrestrial landscape intactness.

18 Next slide please.

19 So here you can see an in-depth, more focused
20 view of what this looks like in an area around Fairfield,
21 California. You can see the substations that have a
22 proposed resource allocation allotted to them by the CPUC.
23 You see the ten-mile buffer around them. And so within
24 those buffered areas of focus, you see how much resource
25 potential is available. You can see the total amounts vary

1 per substation. And, also, the high and low categorization
2 of that resource area, it varies between them.

3 So the first set of metrics that we report on
4 back to the CPUC would be how much land is available, so
5 how much has technical potential. And then, also, more
6 importantly, so if the CPUC has allocated a certain amount
7 of resource to the substation, how much land, if you were
8 to convert that megawatt to an acreage, how much percent of
9 the low implication area would that allocated and proposed
10 resource potential cover? So like would there even be
11 enough low implication land to support that proposed
12 megawatt, a new resource build? So that's the first set of
13 metrics that we report on.

14 Next slide, please.

15 The second set of metrics concerns all of the
16 environmental components and implications. So as you can
17 see here on the chart, the top of the hierarchy, we have
18 the environmental model, and that's partitioned into low
19 and high implication based on, you know, the total scores
20 of the suitability model that went into that.

21 But we also want to report on more details of
22 what went into that environmental implications model. So
23 we want to report on the percentage of the high ranks, the
24 amounts of fours and above of each of those input datasets
25 that go into the environmental model. So we have the

1 biodiversity, the landscape and intactness, and
2 connectivity. And you can see those in the middle row.
3 The raw distribution of the data is shown there. All the
4 dark blues are areas that have a score of four or greater.
5 So we would report out on the percentage of the total
6 resource footprint that contains those 4s or 5s.

7 And then we go one level deeper, and we also --
8 because biodiversity and connectivity are made up of
9 additional datasets of components, and so we go into that
10 level of detail, too, and we report on how much
11 irreplaceability, native species, and rare species have a
12 rank of four or higher within the resource potential
13 footprint. So that kind of gives the CPUC more of an
14 understanding of what's driving that overall low
15 implication area, and then also it highlights if there's
16 any areas of concern for compatibility of this resource
17 allocation.

18 Next slide, please.

19 So then the next, the final set of environmental
20 metrics that we report back to the CPUC have to do with the
21 important bird areas and the high fire threat districts, as
22 you can see here. So these are just standalone datasets.
23 They weren't part of the suitability model.

24 And next slide, please.

25 And for these, we just report on the total

1 percentage coverage of the buffered area. So as you can
2 see in some of these intersections of the buffered area
3 with the raw data, some of these areas don't have any
4 overlap with important bird areas or the high fire threat
5 districts, and then some of them might be completely
6 covered by either of those datasets, but these were
7 considered. These were the two that were reported on in
8 the previous methods.

9 Next slide, please.

10 So overall, this is the kind of result that we
11 report back to the CPUC with. For every substation, in
12 this case you're seeing the Bellota Substation example, we
13 report on the land use implications of that proposed
14 resource allocation to the substation. So we report on the
15 total area of resource potential, and then also the percent
16 of the low implication build. So assuming that that build
17 could go into the low implication land, how much of it
18 would be used by that proposed resource allocation.

19 And then we report on the two sets of
20 environmental factors. First we go into all of the
21 datasets that make up the environmental model. So those
22 are listed here. And then we report on the percent cover,
23 the total percent cover within the 10- or 20-mile buffer of
24 those two standalone datasets, the IBAs and high fire
25 threat areas.

1 Next slide, please.

2 So for wind, we do a very similar approach. We
3 have the same metrics that we report back to, except we
4 have to slightly adjust the areas of inclusion that we
5 associate with the substation. So we start out by
6 buffering by ten miles, similar to solar, but we -- but,
7 often, that's not enough, that doesn't provide us enough
8 resource potential for the allocated resource.

9 So we also allow for nearby wind resource areas
10 to be included in the proposed resource area for each
11 substation. And this could be done because the dataset we
12 were given by CPUC had already partitioned the wind
13 resource, the wind technical resource potential, into
14 project areas that were discrete and so could be included
15 that way. So here you see for Delta Switching Yard
16 Substation, what the resource potential map looks like
17 partitioned by the environmental model.

18 Next slide, please.

19 And then here you can see how those discrete wind
20 resource polygons would have to be like manually assigned
21 and included to be in this busbar mapping exercise. So
22 first, you know, the two pink polygons are wind resource
23 areas that do intersect the ten-mile buffer around the
24 substation. But we also had to manually pull in those
25 green polygon areas in order to sufficiently to have enough

1 area to support the allocated resource potential.

2 And then we'd also note that in the table that we
3 returned to the CPUC that, you know, we had to draw on a
4 wind resource area X miles away.

5 So next slide, please.

6 And geothermal is very similar to wind in that we
7 allow for the resource areas to come from further away than
8 the ten-mile radius around the substation, so we allow for
9 that. And we perform the land use evaluation on the whole
10 geothermal resource that's closest to or that perhaps
11 intersects the substation with the proposed resource
12 potential.

13 Next slide, please.

14 And so, again, all of those metrics that we
15 report back to the CPUC with go back to inform these
16 noncompliance flags, and they're flushed out here for more
17 detail. So basically, if any of the metrics fall above 50
18 percent, we flag it for them.

19 Next slide, please. Okay.

20 So, yeah, so this just summarizes the current
21 busbar methods.

22 And now we will get into some proposed ideas that
23 we have.

24 Next slide, please.

25 Okay, so here, so these are just some new

1 assessments and ideas of considerations that we think could
2 come into play in our updates to busbar mapping.

3 Next slide, please.

4 So first, we have parcelization. Every county
5 assessor office keeps track of the land through parcels,
6 which have a unique tax APN number. Here you see on the
7 right all of the parcels in approximately a 20-mile buffer
8 around Antelope substation in northern L.A. County. So
9 each parcel is shown in pink with a gray outline, so you
10 can infer by the gray density of the -- you can infer by
11 the gray the density of the parcels. Areas that seem
12 completely gray are just small parcels that are close
13 together.

14 And, you know, a significant factor in developing
15 large solar projects is the parcelization of land. So as
16 the density of parcels goes up, the number of interested
17 parties in any negotiation to add additional power to a
18 substation goes up. So it can be costly and timely for a
19 developer if an area has a large number of small sized
20 parcels. So we could create maps of parcel density to help
21 us indicate where conditions would be more or less
22 favorable for developers.

23 Next slide, please.

24 So this can be shown in this image here. This is
25 how we've -- we created a parcelization density surface and

1 applied it on the resource potential map that we've created
2 using our current land-use screen methods. As you can see,
3 within that 20-mile buffer of Antelope Substation, some
4 areas have a very high parcelization measure of more than
5 100 parcels. So this would be an important piece of
6 information, we would think, that would relate to how
7 developable this area is. And so perhaps, you know, this
8 is a measure that could be reported back to the CPUC.

9 Next slide, please.

10 The other factor that we have thought of is
11 including subtracting out existing solar footprints from
12 the resource potential area around a substation. So, you
13 know, some substations are already getting crowded. In the
14 case of Antelope Substation here, existing solar projects
15 from our new CEC solar footprints dataset is now covering
16 about 15 percent of the low-implication land within 20
17 miles of the substation. So, you know, and especially with
18 the high growth that we're seeing, maybe this will become a
19 more critical factor going forward.

20 Next slide, please.

21 So finally, we have thought that for this local
22 10- to 20-mile area around a substation, it might be
23 important to consider distance to a protected area as a
24 factor. So here in this figure, you'll see the protected
25 areas in yellow, and technical resource potential under the

1 core scenario in gray. And so we're also showing some
2 electrical infrastructure substations in the orange squares
3 and transmission lines in orange.

4 So there might be a situation where buffering the
5 protected area might reduce the available land area around
6 a substation significantly, or if there's many separate
7 protected area layers in a region, we might want to
8 reduce -- I mean, that could be a factor from a
9 conservation perspective of wanting to reduce the resource
10 area of that region. So this could be another type of
11 metric that we report back to the CPUC with, you know, how
12 much of the resource, technical resource potential exists
13 in a certain -- or within a certain distance to a protected
14 area, basically.

15 So next slide, please.

16 So finally, we've developed the following
17 questions that we hope the public can consider in
18 addressing comments to help us and to provide early input
19 into the environmental and land use evaluation for busbar
20 mapping.

21 So first, we have what geospatial data could be
22 used in the determination of available land area for
23 substation level capacity additions for transmission
24 planning?

25 Secondly, should the geospatial areas identified

1 in the core land-use screen be used in busbar mapping to
2 quantify available land area around a substation?

3 Should additional datasets be given that busbar
4 mapping -- yeah, given that busbar mapping occurs at a
5 finer scale resolution than the statewide land-use screens
6 for resource potential? So if so, what datasets?

7 And then how might the CEC update the
8 environmental and land use evaluation to be able to
9 evaluate decisions across multiple land use objectives?

10 And finally, what environmental and land use
11 metrics could the CEC report back to the CPUC?

12 So, yeah, with that, thank you for your attention
13 and we'll open it up for questions and comments.

14 MS. BRAND: Thank you so much, Jared and Saffia.

15 We are going to pause here again for kind of
16 quick clarifying questions on busbar mapping for either
17 Jared or Saffia.

18 I'll first start and see if the Vice Chair has
19 any questions. I think he might have had to run.

20 VICE CHAIR GUNDA: No. May I continue?

21 MS. BRAND: Oh, you're here. Good. Thank you.

22 VICE CHAIR GUNDA: Sorry. I do have to jump off
23 at 4:30.

24 First of all, thank you so much for hosting. I
25 will have Ben from our office provide closing comments.

1 He'll stay and listen in.

2 I just had one comment that we might want to
3 consider as we think through this. As I'm listening to
4 this, you know, Jared kind of talked about the 887 bill,
5 and then kind of the need for the 15-year -- we're talking
6 about 20-year transmission planning from CAISO. We're
7 talking about demand forecast, demand scenarios, all sorts
8 of stuff. I think we have an influx of analytical work
9 that we're trying to do.

10 Having some sort of a public-facing website or
11 information that's updated on a regular basis to just kind
12 of show what our workplan is over the next two to three
13 years, how we expect to integrate different pieces, would
14 be probably really helpful. And so I'm just thinking more
15 of either a subset of SB 100 or resource planning or just
16 land use planning web page that just ties everything
17 together. And how are we going to do the tribal
18 consultation? And then what points are we going to include
19 some of that work into the SB 100?

20 So I just defer to you all, but really, really
21 enjoyed the presentations. Thank you so much. I know how
22 much work this is.

23 I'll have Ben close it. I'll listen as long as I
24 can, but I'll drop off a little bit after 4:30. Thank you.

25 MS. BRAND: Thank you so much.

1 So like last time with questions, we'll start and
2 see if there's any questions here in the room. Okay.

3 So when you turn on the microphone to state your
4 name, affiliation, and then when you're done, turn the
5 microphone off. Thank you.

6 MR. KIM: Dan Kim. Dan Kim. Is that working?
7 Dan Kim.

8 MR. FERGUSON: Yeah, we can hear you.

9 MS. BRAND: Jared, can you hear him?

10 VICE CHAIR GUNDA: Yes. Yes. Go ahead.

11 MR. KIM: Okay.

12 MS. BRAND: Great. Go ahead, Dan.

13 MR. KIM: Okay.

14 MR. FERGUSON: Well, it stopped working now. We
15 heard Dan Kim, but now can't hear anything.

16 MR. KIM: This is Dan Kim. Can you hear me?

17 MR. FERGUSON: Yes, I heard that.

18 MR. KIM: Okay. I have a quick question
19 regarding the substation mapping distance to protected
20 areas. Actually, it's probably more just a clarification
21 question.

22 Are you mapping substations at just one kind of
23 like 500 kV, you know, level? I mean, like how many bays
24 are you, you know, kind of looking at?

25 I mean, you know, this is important, I think, for

1 purposes of master planning, something that we're thinking
2 about in the San Joaquin in Westlands, for example, because
3 when we're talking about, you know, multiple 500 kV lines,
4 new lines, you know, there is a larger footprint that you
5 should, you know, be thinking about, which also probably
6 would mean, you know, kind of a larger kind of radius, so
7 to speak, to be considering. So I just wanted to ask that
8 clarification.

9 MS. BRAND: Maybe I'll start by saying we analyze
10 a list of substations that's provided by the CPUC.

11 Jared, do you have any thoughts on how the
12 substations range in terms of size?

13 MR. FERGUSON: Yeah, I don't know sort of if we
14 have, you know, square footage information about the
15 substations themselves. We have the location. And then
16 I'll note that we focus and we try to stay focused on
17 system-level transmission substations, so basically greater
18 than 100 kilovolts or higher. We tend to not analyze,
19 except in certain circumstances, lower voltage substations
20 or distribution level substations. We focus on the system
21 level, higher voltage substations.

22 But to the sort of the size of it, we currently
23 don't -- we have not in the past utilized any information
24 related to that or sort of as you're saying, sort of like
25 how many interties does the substation have? That is

1 something we are looking at in the future to see if we can
2 obtain that information to see, you know, how many bays,
3 how many remaining bays an existing substation has? What
4 would an upgrade look like both cost-wise and size-wise to
5 expand the number of bays at substations? And so that kind
6 of information is something that we are looking to see if
7 we can include in the analysis for future busbar mapping
8 work.

9 MS. BRAND: Thank you so much, Jared.

10 I think that's it for questions in the room.

11 So, Hilarie, I think we can turn to questions
12 from our virtual participants.

13 And again, folks, for the sake of time, if you
14 could limit your questions to questions specific to the
15 content just presented, clarifying questions, we do have
16 public comment following this. Thank you.

17 MS. ANDERSON: Thank you so much. We have two
18 hands raised right now.

19 Nancy Rader, you should be able to unmute your
20 line and make your comment. Don't forget to state your
21 name for the record.

22 MS. RADER: Hi there. Good afternoon. It's
23 Nancy Rader with the California Wind Energy Association.

24 And first of all, I just want to say how much
25 we've appreciated our dialogue with Erica and Jared and

1 their teams. It's been very productive and really
2 appreciate that.

3 I wanted to ask on the wind busbar mapping, you
4 didn't indicate sort of how far beyond the ten-mile radius
5 you would go. Is there some rule of thumb or how do you
6 decide that?

7 And then in our comments on the PUC's inputs and
8 assumptions process late last year, we commented that a
9 large wind project -- or a large resource area could
10 support a gen tie that is 30 to 40 miles long, and we
11 recommended that the resource not be constrained by
12 substations but by transmission lines since large projects
13 can tap lines with new switching stations. So I wondered
14 if you had thought about that?

15 And sort of in the big picture, I'm wondering how
16 much of that wind resource potential that you identified
17 earlier in the chart, around 50 gigawatts, how much of that
18 remains after the busbar mapping exercise? So I know
19 that's a lot.

20 MR. FERGUSON: So I can take a stab at it,
21 Saffia. I think I can cover all of the questions. I will
22 try at least.

23 So the first part, we don't have a fixed maximum
24 distance we could consider. We did often consider, sort of
25 based on the amount of resource potential, we were mapping

1 to the area. I think, particularly like in the past, I'm
2 thinking of the Round Mountain area in northern California,
3 I think most of that resource potential was definitely over
4 20 miles from the substation, but given the size, we deemed
5 that it was in an effective location.

6 And I'll say -- so I would say sort of, I
7 don't -- off the top of my head, I don't think there was a
8 case where we went further than 30 miles.

9 I don't know, Saffia, if you can recall a case
10 where we were identifying resources more than 30 miles out
11 for wind?

12 MS. HOSSAINZADEH: Yeah, that's my recollection
13 too, it was like no more than 30.

14 MR. FERGUSON: So I would say we didn't have a
15 firm, you know, fixed max, but we were taking in
16 consideration the amount of resource potential and the
17 amount that we were mapping.

18 As to your point, sort of as you had -- Nancy,
19 that you then brought up about sort of like being able to
20 build a new intertie on an existing transmission, not
21 focused, that is something we are actively looking at for
22 future, for this upcoming busbar mapping, not just for wind
23 but for other resources, as well, sort of how do we
24 incorporate the cost of a new transmission and intertie
25 sort of what size of potential would we consider it for?

1 So that kind of information from stakeholders
2 would be helpful in that process because as we're looking,
3 as I was saying, as we're looking out further into the
4 future with larger portfolios, we are going to want to look
5 beyond existing substations for those resource siting
6 locations.

7 MS. RADER: Okay, great. And my last one, in
8 case you forgot, was how much of the wind resource
9 potential remains after the busbar mapping exercise?

10 MS. SWITZER: Oh, you're asking sort of with the
11 three, I think it was like 3.8 gigawatts of onshore wind we
12 have in the portfolio, how much, if we subtract that from
13 the total amount of resource potential?

14 MS. RADER: Maybe you answered my question.
15 Maybe the answer is 3.8 gigawatts. That is what remains
16 after the busbar mapping exercise, I think. And that's why
17 that's what is in the IRP portfolio?

18 MR. FERGUSON: Yeah, so about. So the IRP
19 portfolio or the -- and the TPP portfolio that we
20 transmitted to the ISO, the CPUC transmitted, in February
21 had about 3.8 gigawatts of onshore wind. That wasn't the
22 big out-of-state on new transmission, so it was mostly in
23 state. Some of it is Baja California. Some of it, I think
24 a little bit of it, is Southern Nevada Wind. But of that,
25 sort of within the ISO system, we had about 3.8 gigawatts

1 of onshore wind.

2 MS. RADER: Okay, terrific. Thank you.

3 MS. ANDERSON: Thank you, Nancy.

4 And we're going to move on to our next. She has
5 a question, which was Shannon Eddy.

6 Shannon, you should be able to unmute your line.
7 Remember to state your name for the record.

8 MS. EDDY: Great. Shannon Eddy with the Large-
9 Scale Solar Association. I have three questions. Probably
10 better just to one, one at a time.

11 And again, thanks you guys. This is starting to
12 get really complicated, so I just appreciate the
13 transparency and the open dialogue here. So I'll start
14 with the easier questions first.

15 The first one is just the Audubon Important Bird
16 information. Can you talk a little bit about how that's
17 factored into the busbar mapping once the CEC has
18 identified a percentage of impact around a substation?

19 And actually, let me ask them both at the same
20 time, because they're kind of the same question now that I
21 think about it, even though they come from different data
22 sources, because the other question is: Can you talk a
23 little bit about how environmental considerations are
24 weighted against environmental interest -- or excuse me,
25 against commercial interests, substation capacity, et

1 cetera, as you're doing this mapping?

2 MR. FERGUSON: Yeah, I can answer that. And
3 actually, if we could go back to the busbar mapping slide?
4 It was Mapping Results Alignment with Criteria is the title
5 on the CPUC presentation.

6 MS. ANDERSON: Give me just a second, sorry.

7 MR. FERGUSON: Yeah. No worries.

8 MS. ANDERSON: I'm trying to find it. I've got
9 150 slides to go through. What was the name of it again?

10 MS. BRAND: I think it's slide 13 on the IRP
11 deck.

12 MR. FERGUSON: Yeah, but in the full deck, I'm
13 not sure what slide number, but it's called that Mapping
14 Results Alignment with Criteria.

15 So we split up the land use and environmental
16 criteria analysis into two parts. And so you can see here,
17 we have 3A and 3B titled Available Land Area. And then 3B
18 are the individual datasets focused on the environmental
19 impacts. And that available land area was that higher and
20 lower potential environmental impact analysis that Saffia
21 was walking us through.

22 And then the environmental impacts is flags for
23 the individual datasets. So the CEC provides us with, for
24 each individual dataset, what percentage of the resource
25 potential in that substation had a level three or four, so

1 that higher implication for that resource area, or for
2 important bird areas, it was just what percentage was in an
3 important bird area.

4 And so in the busbar mapping methodology, and
5 Saffia pointed to these threshold, we had percentage
6 cutoffs of sort of if the criteria had, for example, if
7 sort of the criteria had a 95 percent of the resource
8 potential was in that high implication area for important
9 bird areas, then that got flagged.

10 And so basically, those were the points. So
11 basically, we had 95 percent, and then I think 75 percent.
12 I forget off the top of my head, but it's in the
13 methodology documents. So those sort of high-level amounts
14 is what triggered those criteria flags for that dataset.

15 And as I've said before, it's when we're trying
16 to -- we're trying to minimize criteria noncompliance
17 across the whole mapping, so in this case, we're trying to
18 minimize it across, I think we mapped to about 120
19 different substations, the 85 gigawatts of resources. And
20 so we're ideally -- in an ideal location, we would have no
21 flags, but that's not always possible. And so it's
22 weighing, essentially, on a case-by-case basis the analysis
23 at the individual substation.

24 And so in some cases, actually, we have to do
25 significant additional analysis around a certain substation

1 to sort of ascertain where are those environmental impacts
2 coming from to see that impact. And so there's not a
3 systematic threshold that we weigh each criteria at. Those
4 percentage thresholds provide the flags that mean further
5 analysis on the Working Groups part.

6 And then we try to do more detailed analysis to
7 assess, can we decrease these impacts? Are there better
8 alternatives at other cases? So for example, in areas that
9 might have the high environmental impact, we would look at,
10 so are there other substations that have a comparable
11 amount of commercial interests or comparable high-level
12 commercial interests that don't have as much impact that we
13 can map to?

14 And so for like the example on this one, you can
15 see there that that's 3 megawatts of Antelope Wind. That
16 has high level of environmental impacts. I forget which
17 datasets trigger that, but we basically had the analysis
18 that was sort of -- based on the commercial interests in
19 other areas, we didn't have a good alternative to put it.
20 And it was such a small amount that even though a lot of
21 the area had high potential environmental implications,
22 that 3 megawatt amount could likely fit in that area in the
23 proportions that had the low environmental implications.
24 So the decision was made to not move that despite that
25 flag.

1 I went on a little bit of a long tangent there to
2 try to explain that, but I hope that helped clarify things.
3 It does.

4 MS. EDDY: And I know this is not -- this doesn't
5 sort of fit neatly into an encapsulated response because
6 it's pretty tricky. And that's helpful, Jared.

7 I guess my next question might be even more
8 tricky, and I really appreciate the questions that you are
9 asking the public, and number three kind of tags to my next
10 question, and that is: Do you have any thoughts about how
11 you're going to be considering tradeoffs between mapping
12 resources and even expanding substations to accommodate
13 resources in conflicted areas, say those with high
14 environmental implications, versus identifying to build an
15 entirely new substation?

16 Because when we're doing 86 gigawatts, we can
17 imagine that we're probably going to max everything out.
18 But is that really the assumption, or are we really looking
19 at preserving some megawatts around certain substations in
20 order to build entirely new ones? Do you have any thoughts
21 on that?

22 MR. FERGUSON: I will say I don't have any
23 thoughts yet. I think sort of this is -- this sort of, as
24 you're saying, is a crux of one of the issues that
25 internally we've only started discussing amongst staff

1 ourselves, and that's sort of part of the reason why we've
2 asked stakeholders to go ahead and start providing their
3 input, because at this point we are still trying to wrap
4 our own thoughts around how to address this very complex
5 issue.

6 MS. EDDY: Gotcha. Thanks for that. Appreciate
7 it. That was all the questions I had. Thanks, you guys.

8 MS. ANDERSON: Great. Thank you, Shannon.

9 This will be the last call for our question and
10 answer area for anybody on the Zoom. If you're calling in,
11 you can do a star nine to raise your hand, and a star six
12 to unmute.

13 And seeing none, I'm going to pass that back off
14 to Erica.

15 MS. BRAND: Thank you, Hilarie, for facilitating
16 the question and answer online.

17 Now we will transition to the public comment
18 portion of our agenda, so I'm going to hand it over to Mona
19 Badie, the CEC's Public Advisor.

20 MS. BADIE: Good afternoon. We will now begin
21 public comment period for today's workshop. Each person
22 will have up to three minutes for their comment. And to
23 make sure we can hear from everyone, we may reduce that
24 time, depending on the number of commenters. And we'll
25 show a timer on the screen, and we'll alert you when time

1 is up. I want to remind you that all comments will become
2 part of the public record.

3 We'll start in the room and then move to virtual
4 attendees. And I'm not seeing anyone in the room.

5 We had Daniel Kim in the room, and he did want to
6 make a public comment, but he had to leave, so he said he
7 will file something in the docket. And he is from Golden
8 State Clean Energy, so I just wanted to note that for the
9 record.

10 And I'm not seeing anyone else in the room.

11 If you are on Zoom and you'd like to make a
12 public comment, we ask you to raise your hand. You click
13 on the open palm raise-hand icon on your screen. If you're
14 on the phone, you're going to press star nine to raise your
15 hand, and then star six to unmute when called upon. When
16 you are called on, we will open your line. You will unmute
17 on your end, spell your name, state any affiliation, and
18 then you can begin your comment.

19 And I will hand this off to Hilarie to facilitate
20 our Zoom commenters.

21 MS. ANDERSON: Great. We have two hands raised
22 so far, so we're going to start with our first one. We're
23 going to go to order of the how I see them.

24 So you have Shannon Eddy. I'm going to unmute
25 your line. We'll start the timer. Go ahead and state your

1 name and your affiliation for the record.

2 MS. EDDY: Great. Shannon Eddy, Large-Scale
3 Solar Association. Hi, guys. I feel like I was just
4 talking to you.

5 So first, again, I can't say enough just how much
6 we appreciate the time and the effort and the care that you
7 have taken in speaking with us, with other parties, and
8 really thinking about all of these things in a new way.

9 The land-use screens are so important to get
10 right, especially even more. It feels like the ante has
11 increased given the signaling of various proposals under
12 consideration right now that elevate the IRP as a possibly
13 enforceable procurement mechanism now via the governor's
14 office budget trailer bill, and also as a potential
15 priority driver for project interconnections in the latest
16 IPE enhancement proposal. So all of these are going to
17 point to the land-use screens as being even more important.

18 And zonal planning with accurate inputs may be
19 workable as a first layer. But if we don't incorporate
20 some of the risk assessment criteria, we could really run
21 into problems of directing projects to certain areas and
22 planning for infrastructure to those areas and then not
23 being able to build the projects there. So we're really
24 grateful that you're considering some of the development
25 feasibility criteria that we've been talking about and look

1 forward to seeing how those get integrated if there's a
2 way, and we'll be thinking about this on our side, too, if
3 there's a way to integrate those into the land-use screens
4 themselves, not just the busbar mapping, we'll make some
5 recommendations there.

6 Tradeoffs are also really important to consider,
7 kind of just to our last conversation. If current
8 experience is any indication, building new assets is going
9 to be even more difficult than it is now, and so building
10 new substations is going to be harder. I feel like we
11 really do need to look at how we max out existing
12 infrastructure to the extent we can so we don't trigger new
13 conflicts with new infrastructure.

14 The climate refugia index or data layer does give
15 us some pause, especially when we're using those to
16 eliminate areas for consideration. Solar has been shown to
17 be compatible with some species' climate adaptability
18 needs, at least depending on the species' requirements and
19 how a site is managed operationally, so that's one thing.
20 But blanket land exclusions based on modeled assumptions of
21 where species might go in a potential future really
22 unnecessarily narrows our field of vision for state
23 planning. And so we really caution against using this in
24 the way that it's being planned, even in the SB 100 study
25 index or study plan.

1 The other piece that I'll say is just, you know,
2 development is getting harder and harder in California.
3 It's a lot easier in other states. And what we're
4 beginning to hear from developers who have access to
5 limited supply chain products is that they're going to look
6 at where it's easiest to build projects and go there. And
7 so we want to make sure that California doesn't get more
8 difficult than it already is in terms of how we build
9 projects.

10 So we'll build on this in our written comments.
11 Again, a lot to say here, not a lot of time. I know it's
12 late. Again, appreciate your time. Thanks, everybody.

13 MS. ANDERSON: Thank you so much.

14 Okay, we're going to move on to our next comment,
15 and that is from Kate Kelly.

16 Kate, your line should be open. You should be
17 able to unmute yourself. Please state and spell your name
18 for the record and begin your comment.

19 MS. KELLY: Good afternoon. Kate Kelly on behalf
20 of Defenders of Wildlife. Thank you for your time today
21 and thank you for all the work that the team has been doing
22 on this project over the last year, and certainly the last
23 few months.

24 Erica, Saffia, Tyler -- excuse me, Travis and
25 Gabriel, amazing work, and we really appreciate it, the

1 thought and the effort that's gone into it.

2 You know, has been pointed out by many people
3 today, this type of planning is essential for California's
4 energy future, as well as balancing our other state goals.
5 And part of -- you know, as Mr. Lopez said earlier this
6 morning, the path to decarbonization starts with deciding
7 what is possible, and land use planning and environmental
8 screens are key to figuring out what is possible.

9 And to that end, you know, thinking about where
10 existing infrastructure exists versus where the right
11 places to build things are not always the same thing. And
12 so using these tools will help us see what really is
13 possible moving to the future rather than trying to shove
14 additional development into areas that are not appropriate
15 for renewable energy development. So these tools are
16 really essential to that, and we appreciate the opportunity
17 to have these tools at hand.

18 And to echo Vice Chair Gunda's comment, the
19 ability to have web-based tools, web-based maps and the
20 website is essential for that kind of stakeholder
21 participation. That really allows the ability to have all
22 the people that really understand the issues come in and
23 provide the input so that this is a joint project rather
24 than a top-down agency-driven project. So we appreciate
25 the opportunity for the stakeholder process here, and we

1 look forward to having additional meetings and
2 conversations as moving forward.

3 I have one question. It's a process question for
4 Erica. In thinking about the final staff report on land-
5 use screens, because there's been so many upgrades to what
6 the work has been done since we saw it in October, will
7 there be a draft staff report come out with a comment
8 period? I'm not asking to get us into an endless loop of
9 review and comments on draft staff reports, but it seems
10 like we've had a lot of new information come forward. And
11 with the inclusion now of the geothermal piece, it might be
12 an opportunity to have that one kind of last stakeholder
13 check-in.

14 With that, I thank you for your time today, and
15 thank you for all that you're doing.

16 MS. ANDERSON: Great. Thank you so much, Kate.

17 I'm going to do one more call for anybody on
18 Zoom. This is our public comment period. Please raise
19 your hand, use the raise-hand function, it looks like an
20 open palm, or if you're on the phone, press star nine to
21 raise your hand or star six to unmute.

22 Okay, I am seeing no more raised hands, so I
23 think we can conclude our public comment period. I'm going
24 to hand that back to Erica.

25 MS. BRAND: Thank you so much.

1 Okay, well, just to wrap up, I want to say a very
2 quick round of thank you to the project team here at the
3 CEC for all of their excellent geospatial work.

4 To all of the public participants that wrote
5 comments, made comments at the last workshop, reached out
6 to help us understand your comments, thank you so much.
7 We're looking forward to your comments to this new
8 information and this workshop.

9 And I'd like to also thank Jared Ferguson from
10 the CPUC and his team, Emily, Femi, and Sam just for the
11 collaboration and thinking through how our processes fit
12 together and how we can continue to work together to
13 improve methods.

14 So with that, I am going to hand it over to Ben
15 or Liz to close us out and adjourn the meeting.

16 MR. FINKELOR: Well, thanks so much. This is Ben
17 Finkelor. I'm an advisor to the Vice Chair. And I know he
18 did have to step out to another meeting, but he really both
19 enjoyed the conversation and the engagement today.

20 And like you, Erica, wants to -- well, first he
21 wants to thank you for all of your hard work, but then also
22 thank everyone that participated today, both our presenters
23 here at the Energy Commission and NREL and CPUC, but also
24 the folks calling in and in person.

25 It's really, you know, I think this is something

1 that he mentioned in his opening comments, which is that
2 the product itself is really improved when we have this
3 type of feedback and engagement. So a big thank you for
4 that and thanks for staying late too. I know a lot of
5 information to cover, great, great information to cover.

6 So with that, I think we can close the workshop.
7 Thank you very much.

8 (The workshop concluded at 4:53 p.m.)
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 20th day of April, 2023.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

April 20, 2023