

**DOCKETED**

<b>Docket Number:</b>	23-IEPR-04
<b>Project Title:</b>	Accelerating Bulk Grid Connection
<b>TN #:</b>	251072
<b>Document Title:</b>	Transcript - Commissioner Workshop on the Clean Energy Interconnection – Bulk Grid
<b>Description:</b>	transcript 5.4.23 - Commissioner Workshop on the Clean Energy Interconnection – Bulk Grid
<b>Filer:</b>	Raquel Kravitz
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	7/18/2023 8:59:36 AM
<b>Docketed Date:</b>	7/18/2023

STATE OF CALIFORNIA  
CALIFORNIA ENERGY COMMISSION

In the matter of:

2023 Integrated Energy Policy ) Docket No. 23-IEPR-04  
Report ) RE: Accelerating  
 ) Clean Energy  
 ) Interconnection  
 ) - Bulk Grid

---

COMMISSIONER WORKSHOP ON THE CLEAN ENERGY  
INTERCONNECTION - BULK GRID

REMOTE ACCESS VIA ZOOM

THURSDAY, MAY 4, 2023

10:00 A.M.

Reported by:

Martha Nelson

APPEARANCESLEADERSHIP ON VIRTUAL DAIS

Patricia Monahan, IEPR Lead Commissioner, CEC

Siva Gunda, Vice Chair, CEC

J. Andrew McAllister, Commissioner, CEC

Karen Douglas, Commissioner, CPUC

Noemi Gallardo, Commissioner, CEC

Alice Busching Reynolds, President, CPUC

John Reynolds, Commissioner, CPUC

Elliot Mainzer, President and CEO, California ISO

CEC STAFF

Heather Raitt, Director, IEPR

David Erne, Deputy Director, Energy Assessments Division

Ben Wender, Advisor to Commissioner Monahan

MODERATORS

Nathan Barcic, CPUC

Neil Millar, California ISO

Rohimah Moly, Governor's Office of Business and Economic  
Development

Will Gorman, Lawrence Berkeley National Laborator

APPEARANCESPANELISTS

Shannon Eddy, Large Scale Solar Association

Jeff Billinton, California ISO

Jason Rondou, LADWP

Dana Cabbell, SCE

Marco Rios, PG&E

Simret Tesfagiorgis, SDG&E

Lauren Silva, Imperial Irrigation District

Rick Umoff, Solar Energy Industry Association

Sergio Duenas, California Energy Storage Alliance

Nancy Rader, California Wind Energy Association

Jess Melin, NextEra Energy Resources

Michael Colvin, Environmental Defense Fund

Karen Wayland, GridWise Alliance

Ed Smeloff, CEERT and GridLab

PUBLIC COMMENT

Kate Kelly, Defenders of Wildlife

Claire Broome, 350 Bay Area

Mariko Geronimo Aydin, Lumen Energy Strategy, LLC

INDEX		<u>PAGE</u>
Introduction		
	Heather Raitt, California Energy Commission (CEC), IEPR Director	7
Opening Remarks		
	Patty Monahan, 2023 IEPR Lead Commissioner, CEC Siva Gunda, Vice Chair, CEC J. Andrew McAllister, Commissioner, CEC Noemí Gallardo, Commissioner, CEC Alice Busching Reynolds, President, CPUC Karen Douglas, Commissioner, CPUC Elliot Mainzer, President & CEO, California ISO	8
1.	How IEPR Fits into CEC Activities David Erne, CEC	21
2.	The Foundational Role of Transmission and Timely Interconnection for Achieving Climate Targets Shannon Eddy, Large-Scale Solar Association	30
	Questions from leadership on the virtual dais for David Erne and Shannon Eddy	
3.	Policy Driven Bulk System Planning and Ongoing Improvements A. Moderator: Nathan Barcic, CPUC B. Jeff Billinton, California ISO C. Jason Rondou, LADWP	49
	Moderated discussion	
	Questions from leadership on the virtual dais to Presenters	

## INDEX

	<u>PAGE</u>
4. Interconnection Processes and Ongoing Improvements	88
A. Moderator: Neil Millar, California ISO	
B. Dana Cabbell, SCE	
C. Marco Rios and Satvir Nagra, PG&E	
D. Simret Tesfagiorgis, SDG&E	
E. Lauren Silva, Imperial Irrigation District	
Questions from leadership on the virtual dais to presenters	
Closing Remarks	133
Welcome Back	134
Heather Raitt, CEC	
Remarks from the Dais	135
5. Developer Perspectives on Interconnection	136
A. Moderator: Rohimah Moly, Governor's Office of Business and Economic Development	
B. Rick Umoff, Solar Energy Industry Association	
C. Sergio Duenas, California Energy Storage Alliance	
D. Nancy Rader, California Wind Energy Association	
E. Jess Melin, NextEra Energy Resources	
Questions from leadership on the virtual dais to Presenters	

## INDEX

	<u>PAGE</u>
6. Recommendations for Improving Bulk Grid Interconnection, Expansion, and Utilization	184
A. Moderator: Will Gorman, Lawrence Berkeley National Laboratory	
B. Michael Colvin, Environmental Defense Fund	
C. Karen Wayland, GridWise Alliance	
D. Ed Smeloff, CEERT and GridLab	
 Moderated discussion	
 Questions from leadership on the virtual dais to Presenters	
 Public Comments	248
 Closing Remarks	254
 Adjournment	257



1           And we also welcome and encourage written  
2 comments. And instructions for doing so are in the  
3 workshop notice. And written comments are due on May 23rd.

4           And so this is a reminder to all of us today, so  
5 we can have an accurate record and help folks follow along  
6 who may be on the phone, please identify yourself before  
7 speaking.

8           And with that, I'll turn it over to Commissioner  
9 Patty Monahan, the Lead for the 2020 IEPR. Thank you.

10           COMMISSIONER MONAHAN: Thanks very much, Heather.  
11 And thanks to everybody for joining. Sorry, it took me a  
12 second to unmute myself.

13           So I first want to thank my fellow energy agency  
14 colleagues for joining the dais today. We have  
15 representation from the Public Utilities Commission, from  
16 CAISO, and from, of course, the Energy Commission.

17           And I want to thank all the folks that have been  
18 involved in putting on this workshop and the series of  
19 workshops. So first, I want to thank my Advisor, Ben  
20 Wender. I want to thank, actually, Vice Chair Gunda's  
21 team, who has also been deeply involved in helping us set  
22 the agenda and get the speakers. And of course, to Heather  
23 Raitt and her excellent IEPR team for leading us for so  
24 many years, steadily with these workshops.

25           So this year's Energy Policy Report is focusing

1 on speeding the deployment of clean energy resources on the  
2 grid. In past years, we've done a big report every two  
3 years that has really focused on the broad suite of  
4 activities that the Energy Commission undertakes, you know,  
5 really focusing on the various divisions.

6 We're trying something different this year, and I  
7 want to acknowledge that. The strategy is building on last  
8 year's report that Vice Chair Gunda led, but we're really,  
9 we recognize that California's grid is central to achieving  
10 our clean energy and climate goals. We need to plug in  
11 transportation and buildings, which is going to -- unlike  
12 past years, where we've been trying to decrease load, we're  
13 trying to increase load. We want beneficial  
14 electrification to accelerate, and we need to integrate  
15 renewables and storage at record rates.

16 So we know that the grid is going to be sort of  
17 the foundation upon which our clean energy goals are going  
18 to be achieved. It's not the only, of course, energy  
19 strategy that we're going to need, but it's a critical one.  
20 And as the Air Resources Board and the transportation space  
21 passes regulations, like they did last week for Advanced  
22 Clean Fleets, we know that making sure that there is  
23 infrastructure for zero-emission vehicles, battery-electric  
24 zero-emission vehicles to plug in is going to be critical.

25 So I want to acknowledge that we are starting

1 from a platform of strength. All of the energy agencies  
2 represented here are taking actions to speed the deployment  
3 of clean energy resources on the grid. And the morning  
4 session is going to highlight some of these activities, not  
5 all of them. And we want to make sure that the report  
6 really does a good job of collecting from every energy  
7 agency the suite, the activities that are currently being  
8 undertaken. And then the afternoon session is really going  
9 to focus on what more can we do. We welcome ideas.

10 As Heather said, the agenda is packed. So we  
11 strategically have done that. We want to have a day of, I  
12 call it speed dating, energy speed dating, where we're  
13 going to have a lot of different people speaking, a lot of  
14 different ideas. We welcome those ideas here today. But  
15 we also welcome you to submit into our docket so that, you  
16 know, these packed workshops are not the only place that  
17 are going to be an opportunity for ideas to be put into the  
18 hopper.

19 So with that, let me pass the baton over to Vice  
20 Chair Gunda for his comments.

21 VICE CHAIR GUNDA: Thank you, Commissioner  
22 Monahan. Good morning to everybody in attendance. And  
23 again, thanks to the dais here.

24 Commissioner Monahan, you set the stage really,  
25 really beautifully. And I want to just, you know, extend

1 thanks to you for leading this really important IEPR  
2 discussion. And as you mentioned in your opening remarks,  
3 you're really kind of bringing a vision of all California  
4 in the report. It's a report that reflects all of our work  
5 together rather than just the CEC's division. So really  
6 appreciate and commend your kind of interest in bringing  
7 all the vision together here.

8           And I think it's such a timely topic as kind of  
9 supporting the work on both SB 100 and reliability. I see  
10 the interconnection, the ability to both connect the load,  
11 but also connect the generation is pivotal for the next  
12 five years and able to deliver our climate agenda. So it's  
13 a really important topic and look forward to supporting you  
14 and your vision.

15           And also just a big thanks to Ben on your team  
16 and Heather, and Heather as usual. And Ben, I just found  
17 out how amazing the skills he has in terms of flowcharts.

18           So Ben, I'm just really appreciative of your  
19 ability to take these complex things and put in the  
20 flowchart.

21           So looking forward to the discussion and looking  
22 forward to being challenged and a term that I recently  
23 heard at one of our Western conferences, annoyingly  
24 creative. So hopefully we are annoyingly creative in  
25 solving this issue. So thank you so much.

1           COMMISSIONER MONAHAN: And let me, I'm going to  
2 mix it up, mix agencies up a little bit and turn it over to  
3 Chair Reynolds for her comments.

4           PRESIDENT REYNOLDS: Great. Thank you,  
5 Commissioner Monahan. And thanks so much for your  
6 leadership and vision on this year's IEPR. I'm just really  
7 pleased to be here on this virtual dais with Commissioners  
8 from CEC and CPUC, and also of course, leadership from  
9 CAISO.

10           And as you noted in your introduction, we really  
11 are at a transformative moment right now. There's just so  
12 much momentum towards achieving deep decarbonization goals,  
13 but also so many challenges and hurdles that come with  
14 that. And so I really appreciate this year's IEPR and that  
15 it has a focus on how we can work together to accelerate  
16 the connection of clean energy resources to transmission  
17 and link it to what we need to do with the transmission and  
18 distribution system. That issue is really so much of the  
19 work that we do at the CPUC and really across all of our  
20 agencies. And that's why interagency coordination here is  
21 so critical.

22           And as we know, we have a really tall order  
23 before us. The Joint Agency SB 100 Report shows that we  
24 need to add up to 6 gigawatts of renewable energy and  
25 storage resources each year out to 2045 to hit our

1 reliability and GHG targets. And we know that if we're  
2 going to hit the targets, we have to improve alignment  
3 between how we do resource planning and transmission  
4 interconnection so that developers and stakeholders have  
5 maximum transparency into where capacity must truly go to  
6 support the grid needs.

7           So I did want to say a couple things about what  
8 we're doing at the CPUC in the IRP transmission process to  
9 just provide some framing and get us warmed up for the day.

10           So briefly, CPUC staff is continuing to expand  
11 and refine our busbar mapping process as California's  
12 resource portfolio grows. And we've added more  
13 transparency and opportunities for stakeholders to engage  
14 in the process.

15           And then also for the next cycle of mapping, CPUC  
16 staff are working to incorporate new CEC land use and  
17 environmental screens and updated transmission information  
18 from the CAISO and information on substation  
19 interconnection availability on costs.

20           And then also a brief mention of the Interagency  
21 MOU on Transmission Planning from this past December. The  
22 CPUC is considering how we can explore the appropriate  
23 level of information and guidance needed by market  
24 participants to make sure we get the resources that we need  
25 when we need them.

1           So a lot of work underway, but so much more to be  
2 done. And I'm really looking forward to the day today and  
3 looking forward to hearing from all the presenters and  
4 stakeholders as we come together to try to solve these  
5 challenging issues. They're certainly not insurmountable,  
6 although I, you know, would say again that they're very  
7 challenging.

8           I did want to thank the staff for all the work to  
9 prepare for this workshop, especially the CPUC staff and  
10 all their hard work, but also highlighting and expressing  
11 my appreciation for the coordination that I know is  
12 happening across our agencies. So thank you for that  
13 continued work.

14           And with that, I am looking forward to the speed  
15 dating. Thank you.

16           COMMISSIONER MONAHAN: Alright, let me pass it  
17 over to President Mainzer from CAISO.

18           PRESIDENT MAINZER: Thank you very much,  
19 Commissioner Monahan. I wanted to also express my  
20 appreciation to you and all of the folks who've worked so  
21 hard to put this, I think, important dialogue together  
22 today.

23           I wanted to take a number of the key themes have  
24 already been emphasized, but I think all of us here today  
25 recognize that, you know, decarbonizing the fourth largest

1 economy in the world is a monumental challenge and a huge  
2 opportunity for all of us. And it is going to take a  
3 tremendous vision and coordination, creativity, maybe even  
4 some annoying creativity, collaboration, and that intense  
5 focus on delivering results. And certainly at the ISO, you  
6 know, we feel a profound sense of responsibility to  
7 contribute positively to all of those things. And just a  
8 couple of items.

9 I think many folks know that last year in 2022,  
10 we put out our first 20-year outlook. We thought it was  
11 really important to be able to step back and take a look at  
12 that long-term architecture of the grid in California to  
13 meet the SB 100 objectives. What does that mean for in-  
14 state, offshore, and out of state transmission development?

15 President Reynolds already mentioned the work  
16 that we did together last year to codify the new MOU, where  
17 we can do a much better job of synchronizing power, and  
18 transmission planning, and then of course interconnection,  
19 queuing, and procurement. All of these are parts of  
20 gearing that has to work together in a highly synchronized  
21 fashion to be able to onboard those 6,000 megawatts of new  
22 resources every year.

23 We of, course have, an open docket right now,  
24 another round of interconnection process enhancements that  
25 I think all of us recognize that interconnection queuing is

1 fraught with complexity. It's a major issue not only in  
2 California, but across the country. We're absolutely  
3 committed to addressing those issues, all the way from, you  
4 know, everything from subscription right down to  
5 deliverability.

6           And then of course in a couple of weeks we'll be  
7 taking to our Board of governors for approval of the 2022-  
8 2023 Transmission Plan. And this is a plan that the model  
9 is bringing as much as 70,000 megawatts of new generation  
10 onto the grid in California over the next ten years. This  
11 is directly indexed to the policy goals of the state of  
12 California and the reliability needs of the grid. It's a  
13 46 project. It's a big price tag at over \$9 billion. But  
14 we think we're now very focused on meeting the challenge  
15 and making sure that our transmission planning,  
16 interconnection queuing, and process procedures are up to  
17 the challenge of meeting SB 100.

18           So thanks again to all of the people who are here  
19 today. Tremendous partnerships, very open to new ideas and  
20 make sure that we're all working together to keep on track  
21 to meeting these very, very important environmental and  
22 reliability objectives. So thanks again to all of you.

23           COMMISSIONER MONAHAN: Great. Thanks, President  
24 Mainzer.

25           Alright, let me pass it over to Commissioner

1 McAlister from the CEC.

2           COMMISSIONER MCALLISTER: Great. Well, thanks a  
3 lot, Commissioner Monahan. And just reiterate and  
4 emphasize all the thanks to the staff across all of our  
5 agencies. They really are kind of aware of the rubber  
6 meets the road and really get the ball moving forward. So,  
7 you know, just recognize a lot of behind the scenes, but  
8 huge amount of effort.

9           Just I won't repeat what folks have said. I  
10 agree with all the points about how critical this  
11 collaboration is. The electric system is the backbone of  
12 our decarbonized future and it has to be up to the task,  
13 really, as the top priority. Our collaboration and just  
14 the collegiality across the agencies and the sense of  
15 mission is just as high as it's ever been, I think.

16           And, you know, our grid is going to grow, as  
17 Commissioner Monahan, you said, you know, our load is going  
18 to grow over the coming decades. And so we need to  
19 interconnect both the right loads and the right supplies at  
20 all scales.

21           And so today we're talking, you know, more about  
22 the bulk power grid, but really up and down the whole  
23 electric grid, making the right decisions and managing  
24 investments from individual loads and individual, you know,  
25 homes and businesses, all the way up to the distribution

1 grid, all the way up to the to the bulk transmission grid  
2 and the supply that's connected to it. All of these issues  
3 are interrelated. And, you know, we our collaboration can  
4 support, you know, I think smart policy in a coordinated  
5 way across the board here, so really optimistic about that.

6           There's just a lot of great momentum building  
7 planning tools and process, not only in California, but  
8 across the West, really interesting conversations  
9 happening. I think, you know, Vice Chair Gunda referred to  
10 that as well. So I think there's just a sense of mission  
11 here. And I'm looking forward to hearing the presentations  
12 for today and, you know, continuing and building our  
13 collaboration across the state, and today's a sort of key  
14 moment in that.

15           And finally, I'll just say, Commissioner Monahan,  
16 just your vision defining this topic and really focusing in  
17 on it reflects the criticality. A lot of other things  
18 revolve around this conversation, getting our  
19 interconnection ducks in a row and really streamlining and  
20 accelerating the planning of supply and transmission and,  
21 you know, with relation to all the load centers that they  
22 have to supply. And I think that need-based assessment is  
23 something that we're necessarily coming back to in the  
24 state. And it's just incredibly appropriate. And this is  
25 a great forum and convening for that discussion to advance,

1 so thank you.

2 COMMISSIONER MONAHAN: Alright. Thank you.

3 Well, I'll give the last word to Commissioner Douglas, my  
4 former colleague here at the Energy Commission and now my  
5 colleague at the CPUC.

6 So Commissioner Douglas.

7 COMMISSIONER DOUGLAS: Thank you, Commissioner  
8 Monahan. And great to see you leading this IEPR and this  
9 topic. And I just really appreciate the opportunity to be  
10 here with all of my colleagues across the PUC and ISO and  
11 want to share and join in the appreciation to the staff for  
12 pulling this together.

13 And I'll be very brief because I think we've said  
14 it in our introductory comments, but this is absolutely  
15 critical. We just have to move forward to move forward and  
16 get the projects online that we will need to cement our  
17 energy transition and meet our climate goals and maintain  
18 reliability. And, yes, there are obstacles. And, yes,  
19 there's a need for creativity. And really all of us have a  
20 role to play in making this successful. And so it's so  
21 important that we're all here and we're all focused and  
22 prepared to play the role that we need to within our  
23 jurisdictions and responsibilities, and also in close  
24 collaboration with each other.

25 So I'm very much looking forward to the workshop

1 today and appreciate you bringing us all together,  
2 Commissioner Monahan. Thank you.

3 COMMISSIONER MONAHAN: Well, and I want to  
4 acknowledge two colleagues that didn't make opening remarks  
5 but are on the dais. So we have Commissioner Reynolds,  
6 who's in the car, so he might be popping up, a disembodied  
7 voice and the newest CEC Commissioner, Commissioner  
8 Gallardo, who was our public advisor. And for those of you  
9 who know Commissioner Gallardo, she's a force for good. So  
10 we're excited that she is joining us today and on the panel  
11 and just writ large joining the Energy Commission because  
12 we have a lot to learn from her.

13 So with that, I'm going to pass it to my Advisor,  
14 Ben Wender, who's going to be sort of the master of  
15 ceremonies today.

16 MR. WENDER: Thanks very much, Commissioner  
17 Monahan, and all of the representatives on the dais.  
18 Really excited to hear this dialogue today, have you all  
19 participate and follow your keen leadership through this  
20 exciting decade.

21 To start us off, I want to invite my colleague,  
22 David Erne, to join and contextualize how this year's IEPR  
23 fits within many of the initiatives ongoing here at CEC.  
24 David is the Deputy Director of our Energy Assessments  
25 Division, and he's going to both describe some activities

1 here and give a foresight into some of the discussions  
2 we'll have today.

3 Take it away, David.

4 MR. ERNE: Thank you, Ben. Can you hear me  
5 alright? Great.

6 Good morning, everyone. Good morning, all the  
7 leaders on the dais, thank you for joining us today, and  
8 the nearly 200 participants who are here to listen in on  
9 this topic, which is great to have that participation for  
10 such an important topic.

11 I'm going to go to the next slide, by the way.

12 So I'm going to be giving a little bit of  
13 overview of the workshop today and also some context of  
14 interconnection relative to reliability.

15 This is the first of our workshops on  
16 interconnection. We're discussing the bulk grid today, and  
17 we're having the distribution system interconnection next  
18 Tuesday, so please join us for that as well. And the  
19 reason we're covering both of those is because obviously  
20 getting resources on for both the distribution system and  
21 the bulk grid system are important for us to be able to  
22 meet our clean energy goals, and there are challenges with  
23 both of them. Some of those overlap and some of those do  
24 not, but we want to be able to consider the challenges with  
25 interconnection in totality for the state and make sure we

1 are on path to make both of those processes as rapid and as  
2 safe and reliable as possible.

3           So let me walk through, first of all, a little  
4 overview of the context for today or our workshop today, so  
5 we can go to the next slide.

6           Following my introductory comments, I'll have  
7 Shannon Eddy join us. She's the Executive Director for the  
8 Large Scale Solar Association. She's going to give an  
9 overview of the perspective of interconnection relative to  
10 California's clean energy goals, so the very overarching  
11 broader umbrella of how these fit into our meeting our  
12 goals.

13           After that, and questions with the dais, then  
14 we'll go to a panel that will talk about really the first  
15 critical stage of interconnection, which is the planning  
16 process, and so we'll have CPUC, Cal ISO, and LADWP giving  
17 overviews of the planning process and identifying those  
18 resources necessary to get online to meet our reliability  
19 goals. And then that'll be followed by a more detailed  
20 conversation with the panel of utilities talking about, and  
21 Cal ISO talking about the process, so getting into the  
22 details of exactly what goes into an interconnection, the  
23 factors that they're looking for, how they're evaluating  
24 what has to happen for these resources to come on quickly,  
25 but also, again, safely and provide reliability for the

1 grid. And then we'll close out, that'll close out the  
2 morning.

3 In the afternoon, we'll have a panel of  
4 developers who will be talking about the perspectives on  
5 interconnection and the opportunities and challenges  
6 they're seeing in the state. And that will be followed by  
7 a panel that will talk about recommendations for  
8 improvements and start the brainstorming about ways that we  
9 can improve our processes in the state beyond all of the  
10 activities that the Cal ISO and CPUC and the utilities are  
11 already working on for improving our processes.

12 So that's an overview of our workshop for today  
13 but let me put some of this in context with reliability, so  
14 next slide.

15 Through our sense of analysis of reliability over  
16 the last few years with the joint work by the CEC, CPUC,  
17 and Cal ISO, CEC kind of articulates these challenges for  
18 California in three separate overall buckets.

19 Improving our planning processes; we have worked  
20 to do in thinking about how to really incorporate climate  
21 change and climate change-induced weather variability to  
22 our planning to make sure our planning is taking into  
23 account that we're seeing a different environment now than  
24 we've seen in the past 20 or 30 years.

25 Ensuring that we get those resources identified

1 and on the grid in a timely and appropriate manner so that  
2 we meet our reliability needs. That includes improving our  
3 processes on interconnection and permitting, which are  
4 critical elements to getting these resources online. Those  
5 are the planning elements.

6 We also see the need to expand the scale of and  
7 the diversity of resources on the grid. We've talked in  
8 the past about some of the supply chain issues with solar  
9 and storage. Having a broader diversity of resources  
10 available to the grid will make our system more robust and  
11 certainly help us with ensuring that we're going to meet  
12 our needs in the long term.

13 And then lastly, we are going to have events,  
14 events like we've seen in 2020 and 2022, where we have  
15 these extreme heat events that really challenge the grid.  
16 And making sure that we have a set of resources like the  
17 Strategic Reliability Reserve, which we loosely refer to as  
18 like contingency resources, that are available during those  
19 events that we can rely on, we can count on to be able to  
20 help support reliability during those events.

21 So those three things are kind of our main  
22 challenges that we're seeing.

23 Next slide.

24 I want to put that in context with not just  
25 California, but broadly across the West. So we're not the

1 only ones dealing with supply chain issues, interconnection  
2 permitting. Those across the West are also dealing with  
3 those issues. And as we mentioned, as you've seen in the  
4 press, leading back to a *New York Times* article in  
5 February, it's happening nationally. And so we're not  
6 alone in this process, but we are very forward thinking in  
7 our policies, which means the drive for expanding our clean  
8 energy resources in the state is going more rapidly than in  
9 many states, which puts us at a point of being more  
10 important for us to focus on this and get this right in the  
11 near term.

12           In addition, we want to keep track of our  
13 existing resources and making sure that we're on track with  
14 our existing resources. We know that in the past few  
15 years, we've had hydro -- we had drought, which has caused  
16 challenges of hydro. Not likely to be a problem this year  
17 with the record amount of snow and rain that we've  
18 received, but certainly something we need to keep in mind  
19 during climate change events about the potential for  
20 drought in California and how that's going to affect hydro,  
21 which is a key resource, again, not just for us, but  
22 Northwest as well.

23           And then we have a West-wide type market. All of  
24 this competition for resources is tough and it's making the  
25 competition for that greater across the West.

1           Next slide.

2           So this one is a little bit difficult of an eye  
3 chart but let me just kind of talk through it at a very  
4 high level. And what you really want to focus on first is,  
5 in any one of these charts, is the gray and the yellow. So  
6 the gray represents, for example, CPUCs procurement orders  
7 for resources. That's the shorter line in each of the  
8 graphs. And then the yellow or gold represents the  
9 preferred system plan. And those are the resources that we  
10 want to be able to bring online. The green line represents  
11 an average build rate of those resources since 2011. The  
12 blue line represents a maximum build rate that we've seen  
13 for those resources since 2011.

14           And you see the challenge with meeting even the  
15 existing procurement orders and the preferred system plan  
16 is going to be a challenge for the state. We need to be  
17 above our average. We need to be more towards the maximum  
18 and maybe even above the maximum to get to the point where  
19 we're building these resources and getting them integrated  
20 in a fashion that is going to be providing reliability for  
21 the state.

22           So this is just trying to drive home the point of  
23 we have a lot of work to do to get these resources online  
24 and interconnected to support what we know we already need.

25           Next slide.

1           But what are we doing? We're doing a lot to make  
2 sure that we have maintained reliability. We've expanded  
3 our summer planning substantially. We have coordinating  
4 our reliability analyses. So Cal ISO, CPUC, CEC all  
5 conduct reliability analyses. We compare those, contrast  
6 those and evaluate those, understand what's happening in  
7 the near and mid term. And the CEC is developing the  
8 capability to look long term for our SB 100 goals to  
9 incorporate into our next SB 100 report.

10           We're also actively, as multiple entities,  
11 tracking resources, both the resources, the new resources  
12 coming online, as well as contingency resources in  
13 preparation for the summer to ensure that we know where  
14 those projects are coming online, that they're available  
15 when we need to have them. And if they're not, then we're  
16 working to overcome the barriers.

17           We've developed the Tracking Energy Development  
18 Task Force, the TED Task Force for short, which is a  
19 combination of CEC, CPUC, Cal ISO, Governor's Office of  
20 Business Development, all looking for ways that we can  
21 monitor these projects and see if we can help to overcome  
22 obstacles to get them online.

23           Each of the agencies or each of the energy  
24 entities is also looking at processes internally and  
25 ensuring our internal processes in preparation for the

1 summer align with Cal ISO's System Operation Emergency  
2 Plan, so that we're all in sync with ensuring that all the  
3 actions that we take happen at the right sequence to make  
4 sure that we provide for grid reliability in the most  
5 responsible manner.

6 And also, which is very, very critical, is real-  
7 time communication at senior levels. This is happening as  
8 we speak weekly, it becomes more rapid during upcoming heat  
9 events to be able to prepare, plan, and respond to those  
10 heat events and having that senior leadership engaged like  
11 the entities on the panel or the folks on the panel -- on  
12 the dais, excuse me, that are constantly in communication  
13 to ensure that we are taking all actions necessary in a  
14 coordinated fashion to meet those needs.

15 Next slide.

16 But it's not just the folks on the dais that are  
17 taking these actions. We have a lot of legislative  
18 drivers. Last year was a really extensive legislative or  
19 busy legislative season that identified a number of actions  
20 related to reliability that laid them out. These actually  
21 just relate to those for CEC, so it's a much longer list  
22 than this. But this action took several steps that are  
23 important to point out.

24 Strategic Reliability Reserve was established  
25 last year to help us with contingencies in the summer

1 during heat events. We set in motion a process to evaluate  
2 whether to extend Diablo Canyon as an additional resource  
3 beyond its retirement in 2025. And it asked for the CEC,  
4 in coordination with CPUC and Cal ISO, to identify  
5 investments the state could make to support our clean  
6 energy goals as part of a Clean Energy Reliability  
7 Investment Plan, or CERIP, and I'll talk about that in just  
8 a minute.

9 Next slide.

10 This simply illustrates the many deadlines that  
11 we have over the course of this year to get these reports  
12 out to inform the legislature and stakeholders about these  
13 activities. I won't spend a whole lot of time here.

14 And I'll talk just briefly then about the Clean  
15 Energy Reliability Investment Plan, which is the next  
16 slide, where we identified priorities to fund, again, for  
17 the state through this \$1 billion that would help enable  
18 investments. These are planning improvements or setting up  
19 other capacity building activities, as I mentioned, scaling  
20 both supply and demand to create diversity of resources for  
21 the state and augmenting extreme events.

22 Next slide.

23 And this is simply just to point out priorities  
24 or how we identify priorities, which is of the \$1 billion  
25 that the legislature asked us to develop the plan for over

1 a three-year period, we prioritize the majority of funding  
2 for scaling demand-side and supply-side resources to get  
3 this diversity of resources available to the state and  
4 ensure that we have a diversity for our grid.

5           So the last comment I'll make is just the final  
6 slide is giving an overview. We will be having our annual  
7 summer reliability workshop on May 17th, the public notice  
8 will go out either later today or tomorrow, where we'll be  
9 talking about the summer situation, what's coming up,  
10 overall overview of the reliability assessments that have  
11 been conducted. We'll talk about and give an update of the  
12 Strategic Reliability Reserve and what that's ready to  
13 provide for the summer, as well as having a panel to talk  
14 about supply chain issues.

15           So with that, I will close out and actually turn  
16 over to Shannon Eddy, who's the Executive Director of the  
17 Large Scale Solar Association, who will give us that  
18 overview aligning policy with interconnection.

19           MS. EDDY: Great. Thanks, David. I'll rely on  
20 you all to give me a thumbs up or something if you can't  
21 hear me. But just good morning, everyone. It's really  
22 nice to see you. I'm happy to be able to speak with you  
23 this morning.

24           So in looking at the agenda and the presentations  
25 we're going to be seeing today, it's clear that you're

1 going to be hearing from multiple experts on the details  
2 involved with building out and interconnecting to the  
3 transmission system. And I've been asked to do some stage  
4 setting about the role of transmission and meeting our  
5 climate targets. So I'm going to stay pretty high level  
6 and focus on a few key themes that we can keep in mind both  
7 today and as we take next steps.

8           So when I was a kid, my dad would come down every  
9 morning when we were eating breakfast and do two things.  
10 He would tell a dad joke that he heard on the radio and  
11 he'd talk about the weather. I'm going to spare you the  
12 bad jokes. I think we've seen enough of those recently and  
13 touch for a moment on the weather or rather the climate.

14           It goes without saying, and yet it bears noting  
15 that we're witnessing the effects of climate change decades  
16 earlier than the models projected. Last month alone, Spain  
17 saw days of sustained temperatures above 100 degrees. Fort  
18 Lauderdale got two feet of rain in 24 hours. And there was  
19 a report of a new study finding that ocean temperatures  
20 have reached just astronomically high temperatures. And  
21 apparently we also have an El Nino on the way, which is  
22 predicted to raise weather temperatures even further.

23           Climate change is right now pushing parts of the  
24 world past the point of human survivability for parts of  
25 the year. That's why we're here today. We're here to

1 address the climate emergency.

2           The UN and the IPCC say that we must reduce  
3 global climate emissions by nearly 50 percent by 2030 if  
4 we're to keep temperatures to 1.5 degrees Celsius in terms  
5 of the temperature increase. President Biden set a goal of  
6 reaching net zero emissions by 2050.

7           And let's go to the first slide here.

8           And here at home, California has set so many  
9 climate targets it's hard to keep track of them sometimes.  
10 I even confused Fran Pavley's two climate bills. She's got  
11 AB 32 back from 2006 and SB 32 from 2015. Only Fran could  
12 confuse us with two groundbreaking climate bills with the  
13 same number.

14           The sweep of legislation that we're looking at  
15 now puts us in the position of decarbonizing the state  
16 across the economy. That means shifting from fossil fuels  
17 to electricity in our homes, our buildings, our ports, and  
18 our transportation sector. And we need to decarbonize our  
19 electricity grid at the same time. Of course, everyone's  
20 been talking about that. The confluence of those efforts  
21 is driving a threefold growth in our grid, probably  
22 fourfold if we decide to abandon the gas plants altogether.

23           This is an incredible task, so incredible, in  
24 fact, that it took us several years to get our heads around  
25 it.

1           So let's check out the next slide.

2           So this is a great slide from Jeff Billinton at  
3 CAISO. In addition to showing our planning trajectory, it  
4 also reveals that it took us a few years to get used to the  
5 idea of needing so much new resource in such a short period  
6 of time. SB 100 was signed in 2018, and yet it was only  
7 late last year that we finally landed on this portfolio.

8           And I want to be clear, it takes guts to do this,  
9 to point to a distant star and say, we're going to be going  
10 there. Nobody's ever gone there before. And so I applaud  
11 the Commissioners and the staff for getting us this far.

12           The punchline, of course, that you've heard  
13 before, you can hear it again, is that we need 86,000  
14 megawatts added to our grid in 12 years. What this slide  
15 doesn't show, but what the SB 100 process finds, is that we  
16 need another 70,000 megawatts in the ten years after that.  
17 So this is unprecedented.

18           I want to mention, too, especially in light of  
19 the net metering lawsuit that was filed, sounds like filed  
20 just yesterday, that these numbers don't include but they  
21 do account for an expected 34,000 megawatts from rooftop  
22 solar by 2045. We won't spend time today talking about the  
23 merits of DG versus utility scale renewables. That's not  
24 the focus of the workshop. And to be clear, the need is so  
25 great on so many levels that we need all the rooftop and

1 all the utility scale power we can get. And my hope is  
2 that we can finally put that debate behind us.

3 To come back to it, our current transmission grid  
4 can't accommodate an additional 86,000 megawatts without  
5 new lines, new poles, new substations, and we need it  
6 quickly.

7 Let's take a look at the next slide. Alright.  
8 It's switched around a little bit. Why don't you go to the  
9 next slide and then we'll come back? There we go.

10 Let's take a look at interconnection. So when it  
11 comes to ramping up clean energy, California's problem is  
12 not a lack of projects. Project proposals we have in  
13 abundance. And this is what's currently in our  
14 interconnection queue dating back to projects that entered  
15 the queue in about 2015.

16 Now Cluster 15, the interconnection window that  
17 just closed last month, saw a record breaking number of 541  
18 interconnection requests totaling 354 gigawatts. We're  
19 seeing this kind of dynamic throughout the country as other  
20 states work to decarbonize. And everyone is running into  
21 the fact that we just didn't plan early enough to build out  
22 the transmission system. LBNL released a really good  
23 report on this last month. It's worth checking out.

24 And the challenge, again, isn't that we have too  
25 many projects vying for too little grid space, it's that

1 our entire system and our planning processes weren't really  
2 set up to handle this kind of accelerated growth.

3 So let's go back to the previous slide. There  
4 you go. And let's look at the challenges.

5 So this is just a high level snapshot of the  
6 challenges that we're facing right now. We're short on  
7 transmission. Upgrades that were approved a few years ago  
8 are delayed. We're short on engineers to do the work. And  
9 our interconnection processes weren't really designed to  
10 handle the volume.

11 Now to the exceptional credit of the regulatory  
12 staff, and I know Elliot and others have touched on this  
13 today, all of you sitting on the virtual dais, a lot of  
14 these challenges are being addressed right now. We have  
15 new tools that are in use more on the way. You're going to  
16 be hearing a lot about this during the workshop today.

17 And so I'm going to leave it here and let's take  
18 a look at the next slide. It's actually two slides forward  
19 now. There you go.

20 So this is what the 2035 buildout will look like  
21 around the state. And again, good credit to CAISO. This  
22 is a fantastic map and you're going to be seeing this a lot  
23 because it helps us visualize where transmission is going  
24 to be going, where new transmission will go, and where the  
25 new projects are needed. And then all the expected

1 megawatts.

2           And the next slide. Good. Okay.

3           So this one is important because electrons need  
4 to get delivered to load. And when it comes to  
5 interconnection planning, developers are still a little bit  
6 in the dark about where delivery capacity exists on the  
7 system. So in order to expedite project siting, developers  
8 are seeking more insight into specifically how much  
9 delivery capacity exists or is expected to exist in various  
10 points on the system. And so we created this slide to just  
11 indicate sort of what's in the queue right now. And then  
12 some of the gaps that we're hoping can be filled as we get  
13 into this process. We think it'll help things move a  
14 little bit more quickly.

15           And then we can go to the final slide.

16           And I want to come back to what this is going to  
17 take. We're looking for superlatives to describe what  
18 we're facing here. We're contemplating unprecedented build  
19 out the likes of which none of us have ever seen. To me,  
20 the decarbonization goals across the country, we must build  
21 terawatts of new renewable energy.

22           We're talking about the biggest shift in land use  
23 patterns in modern history. And if you think that it took  
24 us a while to get our heads around the idea of getting to  
25 these numbers, then it's not a stretch to understand what

1 it will take for the public to get used to the reality of  
2 it. So let's talk about that for a minute.

3 Building new transmission lines has historically  
4 taken about eight to 12 years. That's all the time we have  
5 to meet our 2035 energy goals. We don't have room for  
6 delay. We don't have room for error. Everything must go  
7 perfectly. And we're asking the public to accept a massive  
8 new infrastructure build out against the backdrop of  
9 incredible uncertainty where our political, our social, our  
10 economic norms are completely in flux and where our climate  
11 is rapidly changing. And we don't generally do very well  
12 with change.

13 And so it's incumbent on us to bring the public  
14 into the fold on this as soon as we can to let them know  
15 why this transition to clean energy is important, how it  
16 can benefit them and, yes, that it will mean more changes  
17 are coming and that we need their help. We're in this  
18 together. And so let's find a way to amplify that message.  
19 And let's also stay on track with timing and to Elliot's  
20 point, be creative about how we cite and build both the  
21 projects and the transmission.

22 So to bring it all together, it's not an  
23 overstatement to say that our climate targets rely on  
24 bringing exponential megawatts online. And those megawatts  
25 rely on bringing exponential transmission and

1 interconnection all together. So it relies on you, that  
2 relies on us.

3 So thanks for the time. I look forward to taking  
4 any kind of questions you have and being a part of today's  
5 workshop.

6 MR. WENDER: Well, I'll just say thanks so much,  
7 Shannon and David, for framing up the problem and a lot of  
8 the highlights of activities coming up. We have about 10,  
9 15 minutes available for questions from the dais for either  
10 Shannon or David.

11 We'll pass it to Commissioner Monahan to start us  
12 off.

13 COMMISSIONER MONAHAN: Yeah, and I encourage  
14 anyone on the dais, anybody from my fellow agencies, if you  
15 have questions, pop on the video. And I want to make sure  
16 that there's time for everybody to ask their questions,  
17 especially I think, Elliot, who I'm guessing will have the  
18 most comments on this.

19 So just, again, thanks to David Erne for -- who  
20 is actually our new Deputy Director for Reliability and  
21 Emergency Planning. We're very lucky to have David in that  
22 role. So thanks for the stage setting, David.

23 And Shannon, I'm wondering if you could just  
24 expand on the recommendation that you make on accelerating  
25 state regulatory decisions regarding transmission and

1 interconnection while also ensuring there's time for public  
2 input? Could you give a little more flesh on the bone for  
3 that recommendation?

4 MS. EDDY: I'd say we're probably finding flesh  
5 for the bones on that one. I think the main message is  
6 that we can't afford any delay at the regulatory level.  
7 And so the pressure is really on us to not tap the brakes  
8 and to keep moving forward at the same time moving forward  
9 thoughtfully. Because as these projects are coming  
10 online -- I mean, let me step back for a moment.

11 Renewable energy projects are being opposed  
12 around the country right now. We are seeing opposition  
13 that's more organized, more sophisticated on a lot of  
14 different levels. And that's before we even get to the  
15 question of siting transmission lines, which have also  
16 historically faced some fairly significant pushback.

17 And so when we're looking at the kind of major  
18 build out that we're contemplating here, we're not really  
19 sure the public is ready for this. And so we want to make  
20 sure that they can be engaged as early as possible. A  
21 couple of the network upgrades, several of the network  
22 upgrades that are in process right now are probably already  
23 getting pushed back from the public. And so when we look  
24 at trying to build the kind of transmission and project  
25 development that we need in this 12-year period, the first

1 tranche, all of these projects need to go through public  
2 processes.

3           So I guess what I'm saying is that I want us to  
4 leave as much time as we can for public engagement so they  
5 feel like they're involved, they feel like they're engaged,  
6 feel like they're enrolled in the process.

7           PRESIDENT MAINZER: Commissioner Monahan, this is  
8 Elliott. I think that Shannon and David both did just a  
9 fabulous job of characterizing things. And I'm glad to see  
10 that, you know, we're all now starting to really be able to  
11 stare at the challenge. You know, the maps and the zonal  
12 approach to transition planning is something we've been  
13 doing very, very consciously.

14           Obviously, the interconnection queues represent a  
15 phenomenal supply of potential clean energy resources, but  
16 we're now trying to match that back to the actual demand,  
17 the places where we think we can get transmission built and  
18 to really better synchronizing interconnection queuing and  
19 the procurement of resources as efficiently as possible.

20           Shannon, I'd be interested, you know, from your  
21 perspective, and you understand the issue from so many  
22 different perspectives, if you have any other sort of  
23 specific recommendations where you see any other process  
24 breakdowns or any other things that we can do at either the  
25 PUC or the Energy Commission or the CAISO or any of the

1 other, even legislature, that can further reduce friction  
2 in the system and make sure that we can get the  
3 transmission built and the resources on board it as quickly  
4 as possible? Any other ideas that you'd want us to be  
5 thinking about collectively?

6 MS. EDDY: Yeah, some of it's legislative. SB  
7 420, which is Senator Brecker's bill, extends the  
8 environmental leadership project -- or excuse me, the  
9 Environmental Leadership Program essentially to new  
10 transmission lines, which doesn't lend a huge amount of  
11 streamlining on the front end but it does truncate any kind  
12 of legal windows on the back end, so that would be helpful.  
13 Right now the sunset, or it's about to be amended, so the  
14 sunset is extended by four years.

15 I think we should consider seriously having all  
16 renewable energy projects, and this is a big ask, but  
17 having all renewable energy projects be eligible and  
18 immediately, I would say, assigned to this environmental  
19 leadership project just so we can -- as environmental  
20 leadership projects, sorry, just to keep things like that  
21 moving.

22 I think as we're watching the IRP play out, and  
23 it's about to get started, just making sure that the IRP  
24 stays fairly tightly focused. Because it does, to your  
25 point, it does sound like the state's going to be both

1 directing procurement in very certain areas and also to  
2 certain zones, and it's likely, based on some of the  
3 conversations that are happening at CAISO, that  
4 interconnection is going to be pretty tightly linked to  
5 that. So getting those answers sooner rather than later is  
6 going to lend the certainty that developers need to move  
7 projects forward in the timeframes that they need.

8           And I'm still thinking about, you know, the  
9 extent to which we could do some sort of public outreach,  
10 public education, sort of at the state level, even at the  
11 national level, but we can leave that to some other  
12 conversation.

13           PRESIDENT MAINZER: And I really appreciate that,  
14 but I'll just offer one other observation than for others.

15           You know, certainly that socialization of the  
16 need for transmission infrastructure with the broader  
17 public and just how critical that is to helping California  
18 address the challenges that you described, you know, the  
19 incredible temperature and weather volatility that we're  
20 experiencing, how disruptive that is, and also being able  
21 to contextualize it in terms of the amount of economic  
22 development, job growth, and just overarching value for the  
23 state I think is really important.

24           I think also something that I really find  
25 valuable about this forum, as well, and something that we

1 take seriously at the CAISO, we're actually very strong  
2 supporters of distributed energy resources. We think that  
3 plays an important role in the state's resource portfolio  
4 through our Order 2222 Tariff. We're going to want to make  
5 sure that those resources can have access to markets, et  
6 cetera.

7 But just the scale of the bulk grid requirement,  
8 as you've described, is so monumental that we really need  
9 alignment all the way across the state's policy apparatus  
10 from top to bottom, that this is necessary.

11 And we have checks and balances and different  
12 control procedures built into the state process. I think  
13 those are important, healthy. But the more that we can  
14 time them and synchronize and make sure that the oversight  
15 mechanisms, the questions about the viability and the  
16 necessity of transmission, front load that as much as  
17 possible so we don't go through this very, very  
18 comprehensive transmission planning process that literally  
19 is just a reflection of the state's SB 100 goals and the  
20 reliability requirements of the grid, and then finding  
21 ourselves second and third guessing that over and over  
22 again and just adding more time and more money and more  
23 delay into the process.

24 So the more we can synchronize that and just  
25 truly get top-to-bottom policy alignment around the need to

1 get this infrastructure, the better.

2 MS. EDDY: That's a really interesting point. If  
3 I can jump in on that, this question of the rebuttable  
4 presumption when it comes to need determination in the CPCN  
5 process does need to get resolved. That chaptered out  
6 legislatively last year. It's in a couple of different  
7 bills now, including SB420.

8 To the extent that we can make more efficient the  
9 CPCN process, the CEQA process, basically all of these  
10 processes, it's going to help tremendously, just to your  
11 point.

12 PRESIDENT MAINZER: Yeah. No. Thank you. That  
13 would be all the questions I have this morning. Thanks.

14 Shannon, thank you for your leadership. We  
15 really appreciate the partnership with you and the whole,  
16 just the whole universe of stakeholders with so much  
17 invested in this process, so thank you.

18 MS. EDDY: Yeah. Thank you.

19 COMMISSIONER MONAHAN: Okay, let me pass it to  
20 the CPUC and start with Chair Reynolds.

21 PRESIDENT REYNOLDS: Thank you.

22 And thanks for the great presentation, Shannon.  
23 Really clear and informative. I was wondering if you had  
24 thoughts on anything happening at the federal level that we  
25 should be thinking about and paying attention to that could

1 be helpful to California? And it might be kind of a big  
2 question, but maybe hone in on, you know, the areas that  
3 you think are most important.

4 MS. EDDY: I think taking advantage of any kind  
5 of federal monies that can be available to us and to our  
6 transmission build out would be hugely significant and very  
7 helpful.

8 I think also finding some alignment between some  
9 of the federal incentive structures and state planning  
10 would be pretty useful as well. For example, the IRA  
11 outlined new incentives for developers to develop projects  
12 in energy communities. The IRS just came out with those  
13 energy communities last month. And so to embed those into  
14 some of the planning processes, for example, in the RESOLVE  
15 model for the IRP, would be very useful.

16 Those are the kinds of things that I think that  
17 we can be leveraging really to the greatest extent. And I  
18 know there are a lot of different pieces in the IRA. I  
19 don't know how deep you want to go on that.

20 MS. CALZADA: That's helpful. Thanks.

21 COMMISSIONER MONAHAN: Vice Chair Gunda?

22 VICE CHAIR GUNDA: Thank you, Commissioner.

23 And Shannon, thank you for that excellent  
24 presentation.

25 And David, thanks for setting the stage on both

1 ends and bringing all the teams together. Because I talk  
2 to David all the time, I know what he's thinking.

3 Shannon, I'm going to direct my question to you  
4 at 30,000-foot level. So, you know, you recognize the  
5 problem of the incredible amount of new build that is  
6 required. But you also talked about, you know, it's not  
7 just bulk or DERs or on a rooftop. You know, we need  
8 everything on the table; right? And I think I kind of want  
9 to expand on President Reynolds' question, and also  
10 Elliot's thinking here.

11 You know, we have near-term, middle-term, and  
12 long-term reforms that we could do to accelerate the  
13 buildouts. I think some of the processes we are putting in  
14 place right now could probably play out really well in the  
15 next two to three years; right? So they'll begin to shape.

16 Are there lessons we can learn from the broader  
17 scope of your work in the rest of the country and other  
18 balancing areas and in other states? What are some  
19 immediate steps we can take to, you know, unlock some of  
20 the megawatts or interconnections in the very near-term as  
21 we continue to reform and make sure the processes, to your  
22 kind of statement, really align with the needs of the  
23 future? So I'm kind of just thinking about any short-term  
24 things we can do as we're also like thinking about these  
25 mid-term and long-term reforms.

1 MS. EDDY: You know, thanks for the question. I  
2 think off the top of my head in terms of on-the-ground  
3 short-term reforms, I don't have many. They all would  
4 require some sort of legislative fix or regulatory  
5 direction.

6 I do want to give a nod to AB 205 and the AB 205  
7 process. To the extent that the AB 205 process truly does  
8 accelerate project siting, that would be fantastic. What  
9 we're finding is that that's looked to, even by some  
10 counties, as a relief valve on a lot of different levels.  
11 And so I think we're all looking at what's happening with  
12 Fountain Wind and some of the other upcoming applications  
13 that are happening at the Energy Commission to see if that  
14 really does provide some efficiencies. And to the extent  
15 that it does, that would be important.

16 I think beyond that, a lot of our recommendations  
17 revolve around some of the interconnection process  
18 enhancements process and the deliverability process  
19 elements that are pretty live at CAISO right now. And it's  
20 kind of interesting. I mean, I think one of challenges  
21 that CAISO faces and, really, that all of you face is that  
22 you're managing messaging coming from multiple developers  
23 that are all competitors. And we're doing what we can to  
24 give some very streamlined and consistent direction about  
25 how to move through the reforms to the interconnection

1 process as best we can so you don't have to make so many  
2 major decisions among competing interests.

3 But, ultimately, you're going to have to. There  
4 will have to be decisions made about site control, site  
5 exclusivity, how those things play into prioritization of  
6 interconnection to the extent to which we prioritize  
7 projects in different zones.

8 I do want to take an opportunity and just give a  
9 nod to what President Reynolds mentioned, which is the  
10 fantastic work by the Energy Commission on land use screens  
11 and also by the PUC, Jared Ferguson, Erica and Sophia have  
12 been doing just amazing work on updating those land use  
13 screens, which is even more important now in light of some  
14 of this prioritization and also working to embed those,  
15 that kind of data, into the busbar mapping. That kind of  
16 certainty, that kind of clarity, and also building some  
17 transparency into the busbar mapping process with the  
18 stakeholders as we go, I think is going to deliver some  
19 really good efficiencies that are going to yield good  
20 results on the back end.

21 COMMISSIONER MONAHAN: Alright, thanks to Shannon  
22 and David.

23 I think we're going to move on to our next panel  
24 and I'm going to turn it back over to Ben.

25 MR. WENDER: Thanks so much to the dais.

1           And again, Shannon, David, wonderful framing and  
2 presentation.

3           Next we have a panel digging in on policy-driven  
4 and bulk system planning and highlighting some of the  
5 ongoing improvements. I want to turn it to my colleague,  
6 Nathan Barcic, who's a Program and Project Supervisor at  
7 CPUC, who will start us off.

8           Take it away, Nathan.

9           MR. BARCIC: Thanks for that, Ben.

10          Morning, everyone. Nathan Barcic with CPUC IRP,  
11 here to give you a quick intro on some transmission  
12 planning concepts to tee up the panel's discussion over the  
13 next couple of minutes with the focus on CPUC IRP's  
14 process, which is a pretty big cog in the machinery, but  
15 obviously not the only cog.

16          We can advance the slide, please. And one more.

17          So this chart might be oriented with IRP somewhat  
18 near the center of this planning universe, but I assure you  
19 that's a coincidence. What we're trying to show with this  
20 chart of the CPUC IRP's part of the puzzle is neither the  
21 beginning nor the end of the transmission planning process  
22 in California, which is actually more of a cycle in a lot  
23 of ways. I'll try to walk through it for a second and  
24 broadly articulate the flow.

25          So first you can see CARB setting GHG target

1 ranges for us. Second and kind of in parallel, CEC  
2 develops a load forecast for everyone else to use in their  
3 part of the process, and also the SB 100 process provides  
4 us visibility out to 2045.

5 And once we have those things, then IRP can start  
6 taking action, and it picks GHG target or targets from  
7 within CARB's range. It develops and adopts a portfolio or  
8 portfolios for consideration in transmission planning, and  
9 it then transmits them to CAISO's TPP. In parallel with  
10 that, CPUC might also order procurement of its  
11 jurisdictional LSEs.

12 CAISO, once it has the proposals -- or once it  
13 has the portfolios might actually pass info back to CPUC  
14 IRP, sometimes in the form of improved transmission  
15 assumptions, whether that be capacity or cost, and  
16 sometimes to LSEs, which could be information regarding  
17 interconnection that might help them in their procurement  
18 activities.

19 The next slide articulates visually the process  
20 that we're going to get into, but I'm mostly going to leave  
21 Jeff Billinton from CAISO, our next speaker, to describe.  
22 I think the main idea here is that in considering what we  
23 just covered on the previous slide, with new IEPRs coming  
24 every year and new TPP cycles starting every year, IRP does  
25 its best kind of in between those two things to build and

1 transmit the portfolios that are needed for study at the  
2 transmission level.

3 Suffice it to say that when we pass CAISO the  
4 information, they engage in some very robust analysis as  
5 part of TPP to identify the transmission that we need. And  
6 though that part of the process that we're talking about  
7 here has historically been focused on a ten-year-out  
8 horizon, we recently have leg requirements that require us  
9 to go out 15 years, which I think this community, this  
10 planning community, is actually quite excited about.

11 There's also a new MOU between the CAISO, CPUC,  
12 and CDC that memorializes part of the process described on  
13 the previous slide, and also adds some additional detail  
14 about other efforts that we might undertake to get better  
15 at this in general.

16 Each year the PUC focuses on generating a  
17 reliability and policy-driven base case portfolio for study  
18 in the next TPP. And sometimes we'll also pass one or more  
19 policy-driven sensitivities, study other possible futures  
20 that may or may not reflect actual realistic futures, but  
21 through their study might still tease out important  
22 information such as what transmission you might need for a  
23 large amount of offshore wind, which is a sensitivity that  
24 we just passed back in February.

25 On the next slide, you'll see bar charts that are

1 probably pretty familiar at this point for those that have  
2 been tracking CPUC IRP. And there's lots of information  
3 embedded in this simple chart, but the main message is  
4 about the sheer number of megawatts that other people have  
5 mentioned so far today in the base case portfolios that  
6 CPUC is transmitting to CAISO, and that the number of  
7 megawatts keeps growing each year.

8           So the chart shows the last four TPP base-case  
9 portfolios resource builds for mostly the end year of the  
10 portfolio. Moving left to right, you move from furthest  
11 back in time to most recent. And the two main drivers of  
12 the megawatt increases are one, and that assumptions are  
13 changing, and so, key drivers under that could be GHG  
14 targets getting lower, i.e. IRP is generating and  
15 transmitting portfolios that have moved from years ago a 46  
16 million metric ton GHG target by 2030 to most recently a 30  
17 million metric ton one, which logically drives more clean  
18 resources into the portfolio.

19           The other big assumption is changes that loads  
20 are getting higher. The assumptions that we've used for  
21 load have pivoted towards high electrification in the last  
22 year or so, which obviously also drives the need for new  
23 clean resources higher.

24           And the second big reason why you're seeing these  
25 increases in the size of the bar as we move further into

1 time is simply the passage of time. You'll note that on  
2 the far left, the year that the portfolio focused on was  
3 2030, and on the far right, it's 2035. And as we move  
4 towards our 2045 goals, which are even bigger, it's only  
5 logical that more resources are part of the portfolio in  
6 each successive year.

7 How does that relate to this workshop's goal?

8 Well, we need to keep getting better about transmission  
9 planning, interconnection, and all the related issues that  
10 are kind of in front of us here to get to our goals in a  
11 timely and affordable manner.

12 And then our last slide, we have some detail  
13 about CPUC's busbar mapping process, which is a key process  
14 that sits between IRP's generation of these portfolios on  
15 this slide -- and if you could please advance the slide --  
16 the resource portfolios that CAISO receives.

17 So busbar mapping is a joint effort between PUC,  
18 CEC, and CAISO staff. Its main activity is to refine the  
19 geographically kind of course portfolios that are generated  
20 by IRP in our model to add more geographic granularity to  
21 them by assigning resources to the specific locations on  
22 the grid, we call them busbars, you can think of them as  
23 substations, in order for CAISO to meaningfully be able to  
24 study them in TPP. It focuses on new utility-scale  
25 resources.

1           And the process has been slowly growing and  
2 evolving over IRP's lifetime. It's almost six years old  
3 now, and there is a detailed methodology doc linked here in  
4 the slides in the bottom left that folks can go peruse if  
5 they like, which is also accompanied by spreadsheet  
6 information that articulates detail about the individual  
7 portfolios that we've transmitted CAISO if you're curious.

8           We aim to continue refining the process with some  
9 stakeholder engagement coming a little bit later this  
10 spring, so please stay tuned so that we can fine tune what  
11 we're doing for the 24-25 TPP, which would culminate in  
12 hopefully a decision adopting portfolios for that TPP in Q1  
13 of next year.

14           That's actually it for my presentation. But for  
15 the rest of the panel, I think I'm going to tee up Jeff  
16 Billinton, who is Director of Transmission Infrastructure  
17 Planning with the California ISO.

18           Jeff, do you want to flip on?

19           MR. BILLINTON: Yeah. Thank you, Nathan.  
20 Appreciate, as we kind of continue the discussion -- and if  
21 you want to go to the next slides, you can go to the next  
22 slide -- what we've been talking about and as we're looking  
23 at the -- kind of as we look at our transmission planning,  
24 the ISO does an annual Transmission Plan that's set out in  
25 our tariff. It's a ten-year. We've been looking at

1 extending beyond to look at some of the needs. As well as  
2 Elliot indicated earlier, we issued our first 20-year  
3 outlook in May of 2022, and that has been very, very  
4 helpful as we're looking at the transmission needs and the  
5 escalating of the resources.

6 And as has been indicated, the strategic  
7 direction for this transmission or transformational change  
8 in a lot of ways has been helped and established through  
9 the Memorandum of Understanding that has been mentioned  
10 before. And in a lot of ways, it's identifying and  
11 tightening the linkages for the resource planning, and as  
12 Nathan indicated, for the resource portfolios, the  
13 locational, the busbar, where are the resources that are  
14 being planned in the IRP?

15 And then our transmission planning as to, as  
16 we've talked about, moving to and focusing to a zonal  
17 approach for that transmission that's needed to enable the  
18 resources within the IRP, and those linkages and tying to  
19 the interconnection process, which is vital to the  
20 discussion today, as well as to the procurement as we look  
21 at where are the resources being procured that are aligned  
22 with where that transmission is being planned to, and also,  
23 like I say, it's been through the interconnection process,  
24 that planning of where that transmission is expected or is  
25 planned to be developed, setting a stage of where that

1 interconnection and where place is for the interconnection  
2 to enable those resources.

3           And so that's important, as well as the linkages  
4 as we look at the CEC's SB 100 and IEPR activities that  
5 we're discussing today, as well as the ISO's planning and  
6 interconnection processes and CPAC's processes.

7           And then the other component that does is it  
8 reaffirms the states, as we're looking at the single  
9 forecasts, we're looking at the load growth and the  
10 escalating of the load growth, and it's being consistent in  
11 the planning for the resource and the Transmission Plan.  
12 And so that's a vital importance, and as we look at our  
13 2022-2023 Transmission Plan, and as Elliot indicated, in a  
14 couple of weeks, we'll be bringing forward to the ISO's  
15 board for approval, that includes and kind of encapsulates  
16 in taking and moving to that zone of approach.

17           If you want to go to the next slide, please

18  
19           As we look at the at the, you know, kind of the  
20 climate change goals, it's driving. And the load and the  
21 load forecast for the load is increasing. And as you can  
22 see in the diagram, kind of the load forecasts increasing  
23 based upon the different successive IEPRs that we have  
24 forecast that we use in our transmission planning.

25           The dark green line identifies the forecast that

1 was adopted in the 2021 IEPR, which is used in the 2022-  
2 2023 transmission planning process. But as the CEC evolved  
3 the forecast and scenarios, a high transportation  
4 electrification forecast scenario was developed, and in a  
5 letter from the CEC and CPUC, we shifted to the high  
6 transportation electrification forecast within the  
7 transmission planning process for the 2022-2023 cycle, and  
8 used in that analysis, as well as was used in the  
9 sensitivity portfolio that was provided as part of that  
10 transmittal for this transmission planning process. And so  
11 it's utilizing the principle of the single forecast but  
12 seeing the increasing loads as we as we progress.

13           And then in terms of the weather variant of how  
14 we study in different studies that we use, again, that is  
15 based upon the CEC's forecast and also encapsulated within  
16 that single forecast set within the IEPR documentation.

17           If you want to move to the next slide?

18           And this is similar as we look at in the  
19 discussions that have been kind of included within  
20 Shannon's presentation, as well as Nathan's presentation.  
21 And as we look at, in the center, kind of in the  
22 transmission planning process, the base portfolio that was  
23 provided to the ISO from the CPUC for the 2022-2023  
24 transmission planning process, as well as the sensitivity,  
25 which in the ten-year horizon is in the 70 gigawatt and in

1 the similar to the portfolio for next year in 2035 is  
2 around 86 gigawatt.

3           And so as we're planning, we're planning to the  
4 base portfolio that's identified in the transmission  
5 planning cycle, but the sensitivity and in particular with  
6 that sensitivity being the base portfolio for the next  
7 planning cycle, the 2023-2024 planning cycle being the  
8 sensitivity, it provided as we looked at the needs that we  
9 identify when there's a need within a base portfolio, the  
10 alternatives, and so that we're picking and looking at  
11 alternatives that will meet the need that's identified  
12 within the base, but also future needs that are in the  
13 sensitivity and longer term.

14           And then as you look at, and Shannon also kind of  
15 touched on it, as we look at our 20-year outlook, and that  
16 had around 120 gigawatt by 2040, looking at alternatives  
17 that will meet the needs that's identified within that base  
18 portfolio, but those alternatives also be reviewed and  
19 selected as we've identified to meet those longer term  
20 goals in the resource development.

21           If you want to go to the next slide?

22           This is kind of highlighting, and Shannon  
23 identified this diagram, as well, on the right, which is as  
24 we look at the zones and where's the portfolio, the diagram  
25 on the right -- or on the left, I mean, identifies from the

1 20-year outlook where the resources were being located,  
2 were kind of located within the scenario that was developed  
3 as part of the SB 100 starting point scenario for the 20-  
4 year outlook.

5           And that -- (clears throat) excuse me -- that  
6 then identified, and as you can see with the dotted lines,  
7 where there's the need for transmission development within  
8 that 20 years to meet that 20-year outlook resource, as  
9 well as load as we looked at those areas. And in there,  
10 also looked at a gas retirement of approximately 15  
11 gigawatt. And in the local areas, in particular with those  
12 impacts in the 2022-2023 Transmission Plan, as we move to  
13 the zonal and the approach of where the resources are.

14           And this map identifies and highlights within the  
15 base portfolio where the resources are located, as well as  
16 within the sensitivity, which is very similar to as I  
17 indicated in the transmission planning for the next year's  
18 planning cycle, as to the base portfolio.

19           And so this highlights as to, as we look at these  
20 areas, what transmission in the Transmission Plan reflects,  
21 looking at what transmission is needed so as to be able to  
22 access the resources and have the resources deliverable and  
23 be able to interconnect into the system to meet the state's  
24 goals and also reliably for the system as we move forward.

25           And so this is as large as we look at it in terms

1 of planning the transmission to accommodate the resources  
2 within these areas. And it also then sends the signals as  
3 to within the interconnection, where are we planning the  
4 transmission and how much are we planning the transmission  
5 system for to accommodate the resources in those various  
6 areas as we go forward, which then as we look at then for  
7 once the resources in the interconnection, where they  
8 should be procured so as to be deliverable to the system.

9 And so that's a large as we shifted in the 2022  
10 transmission planning process and highlights in the  
11 transmission that is incorporated, as Elliot indicated,  
12 into the Transmission Plan that we'll be bringing to the  
13 Board in May for approval from that point of view.

14 So I think from that point of view, that covers  
15 my presentation of kind of how we're moving forward in the  
16 planning to meet the loads as well as the resource based on  
17 the climate goals of the state.

18 Nathan, I'll turn it back to you.

19 MR. BARCIC: Great, thanks for that Jeff.

20 I think for the next part of the panel, we have  
21 Jason Rondou from LADWP where he's Director of Power System  
22 and Planning.

23 Jason, do you want to flip on?

24 MR. RONDOU: Yeah, Nathan. Do you hear me okay?

25 MR. BARCIC: We do.

1           MR. RONDOU:  Alright.  Great.  So, yeah, thank  
2 you for inviting me to present here.  I'm Director of  
3 Planning at Los Angeles Department of Water and Power.  And  
4 I want to share a little bit about our planning process and  
5 what we are doing now to try to have that match what the  
6 challenge is in front of us.  So let's jump into it.

7           On the first slide is a summary of our Strategic  
8 Long-Term Resource Plan, which many of you are aware we  
9 used to refer to as our Integrated Resource Plan and we  
10 perform this each year, where we determine the resources  
11 that are needed for us to meet our goals, whether it's  
12 related to reliability or our renewable energy or  
13 distributed resources.

14           Over the course of the last several years we  
15 paused that Strategic Long-Term Resource Plan to conduct  
16 the LA100 Study, on the next slide, which was much more  
17 robust in scope and included both resource and transmission  
18 planning and looked at air quality, as well as jobs and  
19 everything related to our decarbonized future so that we  
20 can understand the different pathways to reach 100 percent  
21 renewable energy and we understood what those trade-offs  
22 were.

23           That study was concluded in 2021 and it came to a  
24 pretty significant conclusion that no matter what our  
25 strategy is to get to 100 percent renewable energy, and

1 when I say renewable energy what I mean for, you know,  
2 purposes of clarity is a carbon-free energy. The  
3 terminology that the study used was renewable as the  
4 Department of Energy uses it, but what I'm referring to is  
5 carbon-free energy.

6 And so what the study found, among many other  
7 findings, was that no matter how we get there, there are  
8 common areas of investment and one of those is  
9 transmission. Even under scenarios where we maximize local  
10 resources, maximize local rooftops, solar, local storage,  
11 demand response, managed charging and all of the different  
12 local resources that we could maximize, we still need to  
13 grow our transmission resource.

14 And that's a significant finding in and of itself  
15 but it's even more significant when you understand that Los  
16 Angeles is about 10 percent of the state's load but we have  
17 about 25 percent of the state's transmission capacity. So  
18 even with LAWP having a rich transmission resource we still  
19 need to grow our transmission investments even under  
20 scenarios where we have a strategy that maximizes local  
21 resources.

22 So I wanted to emphasize that point because it  
23 not only has relevance obviously for LADWP but for other  
24 utilities that may not have as much of a rich transmission  
25 resource that we have.

1           So following the study, we embarked on our  
2 updated Strategic Long-Term Resource Plan. So the LA100  
3 Study did not recommend a pathway, so our staff took that  
4 and built upon the LA100 Study -- on the next slide -- to  
5 determine what is our recommended pathway to reach 100  
6 percent carbon-free, and that included an interim target of  
7 80 percent renewables by 2030. It is a significant build  
8 rate of resources of 1,100 megawatts per year.

9           By comparison over the last several years we have  
10 incorporated about 200 megawatts a year. So we're talking  
11 about a five-fold increase in capacity being brought online  
12 over the next 20 plus years. That means all the capacity  
13 that LADWP has today, all the coal that remains to be  
14 decommissioned in 2025, the natural gas which will be the  
15 utilization of that will be dramatically reduced, all the  
16 wind and solar and storage that we have, all of that would  
17 need to be more than doubled. That includes a really  
18 significant continued build out of distributed resources.

19           We'll move on to the next slide.

20           So with that study, the LA100 Study, and with our  
21 Power Plan comes the reality of implementation challenges.  
22 I'll touch on the one that's highlighted in the red box  
23 last, and I just want to briefly touch on the remaining  
24 ones and then I'll circle back to that one.

25           We obviously need to maintain a reliable system

1 for the reliability of the grid but also for the leadership  
2 that we view LADWP being in with respect to the  
3 decarbonization of transportation and buildings. So to do  
4 that effectively we need to maintain a reliable and  
5 resilient system.

6 And we also want to make sure that rates are  
7 designed in a way that is affordable and equitable to all  
8 customers in the city of L.A., the availability of  
9 technology of, you know, things like, you know, technology  
10 that needs to be rapidly mature for us to be able to  
11 incorporate that into our system, things that may be many  
12 years out such as green hydrogen. And then, essentially,  
13 building out all of the distribution system that needs to  
14 be built out to be able to support that growing load.

15 Now that gets us back to the implementation  
16 feasibility, so we need to incorporate a significant amount  
17 of new staff to be able to execute on this. We also need  
18 to understand the supply chain risks. And that has to do,  
19 in part, with procuring renewable energy.

20 And there are a lot of moving dynamics right now  
21 in that industry, as all of us know, with interest rates,  
22 with supply chain questions, with the cost of materials and  
23 so on, and with the uncertainty in the market just  
24 generally. And there's a lot of new things, including the  
25 Inflation Reduction Act which also has caused a number of

1 proposers to refresh their proposals.

2           And so all that means is that in addition to the  
3 challenge of incorporating all of these resources, we also  
4 have a lot of volatility in the market as well.

5           One of the things that I'll touch on before we  
6 move to the next slide is the implementation feasibility of  
7 getting all of the transmission resources that we need to  
8 get in order to reach that 80 percent goal by 2030. What  
9 we have identified is a list of about 20 -- sorry 34  
10 transmission upgrades primarily within or near the city of  
11 Los Angeles to be able to get that power where it needs to  
12 go.

13           Under current conditions in terms of the  
14 permitting processes, if you look at our recent history and  
15 how long it's taken us to deploy transmission projects of  
16 the similar size that we will need to see, we don't believe  
17 under status quo permitting framework and status quo agency  
18 coordination that we will be able to get all of these  
19 transmission projects done in order to meet that interim  
20 goal of 80 percent by 2030.

21           So I don't think that will come as any surprise  
22 to anybody here. As we all know, there are many efforts to  
23 streamline that and to make the development quicker and  
24 easier and more predictable. And predictability is  
25 incredibly important for us, especially when you factor in

1 the outage coordination that is required for us with so  
2 many moving parts, bringing transmission lines out of  
3 service, incorporating local resources and that sort of  
4 thing. The sequencing of those outages is really important  
5 for us not just to have transmission line development  
6 happen fast but also predictably so that we can build out  
7 an outage schedule that is not subject to rapid change all  
8 the time.

9           So on the next slide touches on our transmission  
10 planning overview. I'm not going to get too into depth  
11 here because I think many of you all know that and I think  
12 the slide speaks for itself. But what I will say is with  
13 respect to the relationship of our transmission planning  
14 and our resource planning, it is an iterative process. So  
15 when we update our Power Plan, we build out a ten-year  
16 Transmission Plan to make sure that we understand the  
17 different resources that are required to achieve that.

18           What we need to do is rethink that to make sure  
19 that our resource planning and our transmission planning  
20 are happening simultaneously. And we also need to look at  
21 the feasibility of doing that on a one-year cycle. That is  
22 incredibly difficult to do, so we're currently re-  
23 evaluating the different cycles that we have internally  
24 here.

25           On the next slide you can see one of the major

1 challenges that LADWP has. I'm actually going to skip over  
2 this slide in the interest of time because I've touched on  
3 a lot of this already with the relationship. But one of  
4 the challenges that we have, and everybody else has touched  
5 on this already, is the transmission planning process that  
6 we have now is reactive to our Resource Plan but it doesn't  
7 strategically identify where the different resources are  
8 that we may need.

9           One example of that is we know we need a  
10 significant amount of geothermal resources but with our  
11 existing transmission capacity we may not be able to reach  
12 all of those, which is not a problem that doesn't have a  
13 solution but it may not be an optimal solution for us, so  
14 that is a consideration for us with respect to the  
15 transmission planning going forward.

16           On the next slide I'll highlight an issue that we  
17 also are struggling with which is identifying how we can  
18 mitigate against resiliency risk. On the next slide you'll  
19 see the representation of the transmission corridors that  
20 come into the city of Los Angeles primarily on the northern  
21 portion of the city of Los Angeles where we have the risk  
22 of things like wildfires with the Saddle Ridge Fire and the  
23 Sayre Fire ten years earlier, the Northridge Earthquake.  
24 So when we look at transmission planning we not only need  
25 to figure out how to get the power to the parts of the city

1 that need to get it, but we also need to look at potential  
2 new corridors into the city that could bolster our  
3 resiliency going forward.

4           On the next slide we are looking at different  
5 ways to modernize our transmission planning processes. On  
6 the next slide you'll see some of the challenges that we  
7 have dealt with. Currently we're using a serial first  
8 come, first served. And I think none of these challenges  
9 will be a surprise to any of you, so we'll move on to the  
10 next slide which talks about our approach to moving towards  
11 first come -- first ready, for served. We expect to have  
12 that cluster approach in place starting spring of 2024.

13           On the next slide it touches on our strategic  
14 Transmission Plan which builds upon our ten-year  
15 Transmission Plan and addresses some of that reactive  
16 interaction between our Resource Plan and our Transmission  
17 Plan and this is an effort to figure out how to solve the  
18 issues around resiliency and solve the issues about  
19 transmission reach to the resources that we need. And so  
20 this builds on our transmission planning effort that used  
21 to be a 10-year horizon and now will be, in addition to  
22 that, a 20-year horizon as well.

23           And what this has allowed us to do is have a much  
24 more intentional collaboration dialogue with CAISO to look  
25 at opportunities for partnership on potential new corridors

1 going forward.

2           On the last slide we touch on a couple of the  
3 collaboration efforts that I just mentioned with CAISO, in  
4 addition to some collaboration opportunities with the  
5 Department of Energy as well.

6           So that is my last slide and happy to answer  
7 questions.

8           MR. BARCIC: Thanks for that, Jason.

9           I think at this juncture we'll have a quick  
10 discussion and then pass things back to the dais.

11           I think maybe in summary what I can say is that,  
12 consistent with the theme of this morning's remarks,  
13 especially from Commissioner and Chair level, there's a lot  
14 of opportunity out there, but there's also a lot of  
15 challenges and a lot of opportunities for coordination and  
16 improvement.

17           I think a couple of the ones that I'd highlight  
18 would be lead time to get resources online and the horizons  
19 that we're looking at. I showed a slide a couple minutes  
20 ago that showed not too long ago us planning for 2030 in  
21 TPP and the portfolio that we're going to pass for '24-25  
22 TPP has to at least focus on 2039, and maybe why not round  
23 up to 2040 for that?

24           We've also mentioned on IRP some mapping  
25 refinements that we would like to do. Currently we take

1 into account things like distance to transmission with  
2 appropriate voltage, known transmission capacity limits,  
3 land use, environmental screens, commercial interest, and  
4 then with our battery mapping proximity to disadvantaged  
5 communities but is that the right list? Is it a long  
6 enough list? More not certain.

7           And then Jeff or Jason, I don't know if you want  
8 to chime in with any other any other opportunities here in  
9 a second? But the last one I'll highlight is that I think  
10 I kind of discerned from Shannon's remarks earlier of what  
11 level of directiveness from regulators is appropriate for  
12 actually getting the right things on the electric system,  
13 especially transmission system, at the right time and in  
14 the right place?

15           We have a very large amount of procurement, if  
16 I'm just speaking from what our LSEs are doing in response  
17 to IRP requirements, going online right now to meet our  
18 near- and mid-term reliability orders and doing so in a  
19 relatively orderly fashion. But I think during that  
20 process we're all learning that that fashion could probably  
21 be improved and some refinements are probably due.

22           So Jeff, Jason, do either of you have quick  
23 reflections on that before we pass back to the dais?

24           MR. BILLINTON: Yeah. No, it's true. I think  
25 we've touched on it, and I think Jason touched on it as

1 well, where we're looking is where are the resources, and  
2 basically needing to look where are we planning the  
3 resources to meet the goals, and so that we're planning the  
4 transmission so as to enable or open up the system so as to  
5 be able to interconnect those resources in the timely and  
6 in the needs to meet those goals as well as the reliability  
7 needs of the system.

8           And so I think as you've touched on in the  
9 refining of the busbar mapping within the IRP process and  
10 us then moving to that, to kind of the zonal approach to  
11 the transmission to meet, that then moves, like I say as in  
12 the discussion later, as to the interconnection and sending  
13 the signals where the transmission is being planned for  
14 those resources, and then as such leading the LSE  
15 procurement.

16           So I think that's important, and I think Jason  
17 also touched on that, is that's important initial steps to  
18 get moving forward in this fashion.

19           MR. RONDOU: Yeah, I think without restating, you  
20 know, what some of the potential solutions are, I think  
21 just underscoring what's at stake is probably important.  
22 And I had mentioned, you know, meeting interim goals is one  
23 thing. We talked about 80 percent by 2030 and being able  
24 to bring all of that power not just to the city but the  
25 parts of the city of Los Angeles that power needs to flow

1 to.

2 We did look at a scenario where we had even  
3 higher renewable compliance by 2030 which is 90 percent.  
4 And we found that due to increased gas prices and reduced  
5 renewable prices that the cost to ratepayers of 80 percent  
6 versus 90 percent is the same. So why wouldn't we? Why  
7 wouldn't we try to achieve 90 percent? And the answer is  
8 we think even getting the transmission for 80 percent will  
9 be a challenge. We can't sign contracts for 90 percent and  
10 be bound to those contracts and then not be able to get the  
11 transmission home.

12 So the reason that, you know, higher levels of  
13 interim compliance with renewable goals is a challenge is  
14 because of the issue that we're here to talk about today.  
15 So I just wanted to underscore that, that that 80 percent  
16 versus 90 percent was roughly the same cost. And we can't  
17 get there simply because we can't get the transmission  
18 resources deployed fast enough to be able to get that  
19 energy where it needs to go.

20 MR. BARCIC: Great points, both of you.

21 I think at this juncture we can pass things back  
22 to Commissioner Monahan to see if there's any reflections  
23 from the dais.

24 COMMISSIONER MONAHAN: Thanks. And I encourage  
25 my other dais participants to hop on, whether or not you

1 have a question. And then if you can raise your hand if  
2 you have a question. And I know Commissioner McAllister  
3 didn't get an opportunity last time so I'm going to  
4 prioritize you if you have any questions, and Commissioner  
5 Douglas as well.

6 So if you have questions raise your hand. If you  
7 don't, I'm going to take the prerogative and ask one.

8 COMMISSIONER MCALLISTER: Go ahead, Commissioner  
9 Monahan.

10 COMMISSIONER MONAHAN: Well, I'm curious about  
11 this coordination aspect and how it varies if you're a POU  
12 versus an IOU and whether that coordination with CAISO is  
13 any different. Are there any thoughts on how planning is  
14 different, whether it's easier, whether it's harder, just  
15 on the IOU and POU side?

16 MR. BARCIC: Jason do you want to take a stab  
17 from your --

18 MR. RONDOU: Yeah, I think I'll start. I think  
19 if you asked that question a couple years ago we probably  
20 wouldn't have a strong answer about what that coordination  
21 would look like and what those opportunities are. But I  
22 think what we did over the last several years is we built  
23 upon our ten-year Transmission Plan and started to think a  
24 lot more strategically with our Strategic Transmission Plan  
25 to identify where we need to reach the different parts of

1 the region to be able to access those renewable resources.

2 Now having CAISO's Transmission Plan and our  
3 strategic Transmission Plan, now we can start to understand  
4 each other's needs and now we can start to intentionally  
5 have good dialogue on where those opportunities may lie.  
6 And that has happened now over the course of the last year  
7 or so thanks to the leadership of our transmission planning  
8 folks in really taking that leap to bring us, you know,  
9 much beyond ten years.

10 COMMISSIONER MONAHAN: Great. Thank you.

11 I'm going to pass it to Commissioner McAllister.

12 COMMISSIONER MCALLISTER: Well, thank you,  
13 Commissioner Monahan. Your question sort of got at what  
14 I'm wanting to ask, which is, you know, just acknowledging  
15 the tremendous progress that's been made at the longer time  
16 horizons, the kind of socialization of where the best  
17 resources are, where the areas of priority kind of should  
18 shake out. And I guess, you know, obviously, historically,  
19 the entities responsible for their own planning have kind  
20 of had closely held boundaries and they kind of, you know,  
21 owned the playing field within those boundaries.

22 But as we try to open up towards broader  
23 geographies and coordinate across those, and let's just  
24 sort of talk about LADWP and CAISO, but we have, you know,  
25 BANC (phonetic) and surrounding areas outside of California,

1 how much consensus would you say there is about the  
2 resources and therefore the transmission planning kind of  
3 pathways that are or will, you know, have bubbled or will  
4 bubble up to the top? Sort of trying to understand the  
5 process, trying to begin to conceive of a process that can  
6 embrace any sort of resolve -- embrace and resolve any  
7 differences of opinion as we get to larger scale and  
8 broader sort of macro planning.

9 MR. BILLINTON: Well, it's Jeff here and I can  
10 touch on it at first. And that's one of the advantages, I  
11 think, as we look at the need for some of that longer-term  
12 planning and the looking out longer in our 20 year outlook,  
13 as well as Jason has indicated, they're looking at longer  
14 in the forecasts and portfolios within California in  
15 particular.

16 And in those portfolios, we're identifying  
17 resources that are outside of the state of California. And  
18 we've been looking at that kind of some different models  
19 being it of the subscriber PTO model with the TransWest  
20 Express, with SunZia, and also as we continue to look at LS  
21 power for the SWIP North line and engaging in looking at  
22 innovative identified roles. So having discussions with  
23 Idaho (phonetic) Power to what are their needs with regards  
24 to that transmission.

25 And then within the state ourselves, coordinating

1 with LADWP, as we've talked about, with one project that  
2 has been identified that we're looking at from either a  
3 timing or of a need for that project with potential gas  
4 retirement and those as we look at it, but discussions and  
5 projects that L.A. is identifying within their -- LADWP is  
6 identifying in there is how do we coordinate and  
7 collaborate so that we're effectively planning the  
8 development of transmission that can meet, basically, our  
9 needs, their needs, and in essence, then the state's needs?

10 So those are things that we're looking in as we  
11 go forward. We do have our interregional transmission  
12 planning process as well. Unfortunately, there is some  
13 limitations or issues in that it hasn't moved forward with  
14 transmission within those areas where we continue to  
15 coordinate with the entities outside the state, as well, as  
16 we look at those long-term needs.

17 COMMISSIONER MCALLISTER: Thanks a lot. I guess  
18 I'm just trying to understand, as we get to that bigger  
19 scale, where the pain points are or are likely to be and  
20 sort of look forward to how we as, you know, as we manage  
21 this conversation with our colleagues on these broader  
22 geographies, can we sort of keep on the same page and  
23 really resolve any remaining conflicts, potential conflict?

24 MR. BILLINTON: Yeah, and that's through the  
25 coordinated discussions and engaging with those parties, as

1 well as like you say, the portfolios themselves indicating  
2 the need for, and it's a lot with the diversity of the  
3 portfolio, the need for resources and the locations  
4 providing that diversity and having to ensure that we're  
5 engaging the entities external as well.

6 COMMISSIONER MCALLISTER: Great, thanks a lot.  
7 And anybody else want to chime in. Thanks for that.

8 MR. RONDOU: Yeah, I would just add that simply  
9 the publication of our Strategic Long-Term Resource Plan  
10 shows what resources we need, it doesn't identify where  
11 those resources are. And I think there's probably, you  
12 know, rough consensus on where the resources are. But  
13 understanding our mutual needs and identifying where we  
14 think that the transmission reach will go, again, allows  
15 each of us to understand what our mutual needs are.

16 Now there may be some upgrades where, you know,  
17 there might be a sole benefit to LADWP and not much to  
18 CAISO, but there's going to be others where there is  
19 benefit. One example of that could be reaching offshore  
20 wind and figuring out how to bring some of that energy to  
21 all parts of California, where a project where LADWP might  
22 look at that and say, oh, you know, could we build a new  
23 transmission project to be able to reach that, it may not  
24 make financial sense for us to do that alone.

25 And if the state has the need for that in the

1 Southern California area, then that's one example where we  
2 would work together and have that dialogue to figure out  
3 when the timing of when we would need it, how much capacity  
4 would be needed, and could we actually scope out a project  
5 that would make sense.

6 So that's an example of one where I think there  
7 could be a significant mutual benefit.

8 COMMISSIONER MONAHAN: Excuse my sneezing.

9 Let me pass it to Commissioner Douglas for her  
10 question.

11 COMMISSIONER DOUGLAS: Thank you, Commissioner  
12 Monahan.

13 First, I want to acknowledge, as Commissioner  
14 McAllister did, the tremendous progress in this space and  
15 just how far we have come in our ability to match the  
16 resource planning and transmission planning and policy  
17 goals and reliability needs of the state, and to look  
18 further out over the horizon as is absolutely necessary for  
19 what we're trying to do.

20 I guess my question is, you know, just as we try  
21 to see around the corner towards what's the next set of  
22 real possibilities and where else do we need to really  
23 improve in our coordination and our process, I'm struck by  
24 the conversation, which I think is great, about where we  
25 can find transmission lines with mutual benefit and create

1 partnerships and enable transmission to be built that might  
2 not make sense for someone in isolation but might make  
3 sense as a joint venture.

4           And I guess I wanted to ask the question of, you  
5 know, sort of where and how are some of those opportunities  
6 being vetted? And to what degree are you, when you vet  
7 those opportunities, kind of able to bring in some of the  
8 broader picture, you know, the offshore wind getting to the  
9 L.A. Basin and how does that impact how long certain gas  
10 plants are needed, or kind of the resource type/resource  
11 quality that could be accessed?

12           MR. BILLINTON: Well, it's Jeff here. I can  
13 maybe start, and someone can touch, also, Jason can, or  
14 even Nathan from the point of the IRP process.

15           But I think getting those Resource Plans and the  
16 longer term as we look at them for what our needs are --  
17 because the transmission solutions for some of those longer  
18 term and escalating needs get longer. And so as we work  
19 through those, how do we identify what the resources we're  
20 looking for, L.A. is looking for or BANC or -- and then  
21 what are we looking at for solutions and coordinating?

22           And I think some of it can also coordinate  
23 through and has kind of in the SB 100 approach, as well,  
24 looking at that longer term and how do we bring together  
25 the plans? And are there areas that there is that, and I

1 won't say overlap, but areas where there is potential for  
2 and ensuring that we're exploring those?

3           And as we've been working with Jason and  
4 collaboratively as communicating so that we're aware of and  
5 what are they looking at, what are we looking at and that  
6 those plans fit into that longer term. And if there's  
7 needs, like you say, because the permitting and siting and  
8 routing is a challenge, and how do we maximize the  
9 utilization of greater ways for the common, if there is an  
10 opportunity where there is a kind of a joint need?

11           MR. RONDOU: Yeah, I would just add quickly, part  
12 of this question about what will that mean for gas  
13 utilization is clear and part of it is unclear. What is  
14 clear is that no matter what the transmission upgrades are  
15 that are required, as they get built, whether they're  
16 upgrades to existing transmission infrastructure or their  
17 new corridors that might have partnerships with multiple  
18 utilities, as those get built, gas utilization comes down  
19 dramatically. We forecasted that the capacity factors in-  
20 basin gas plants by 2035 would be in the low single digits.  
21 So, you know, one, two, three percent of the time they  
22 would be relied upon for extreme cases.

23           Now, what the LA100 Study found is that under all  
24 of those scenarios, we still would need some long duration  
25 capacity within the city. And what isn't entirely clear is

1 to what degree major new corridors would have us reevaluate  
2 what amount of capacity would be required. That's  
3 important for us to understand at some point because what  
4 that means is building new potential capacity beyond 2035  
5 and beyond 2045 needs to be coupled with a decarbonized  
6 vision of that. And a decarbonized vision of that, you  
7 start to talk about things like biofuels or green hydrogen,  
8 and that's where you have a significant amount of  
9 technology risk.

10 But what we do know is that in the future, no  
11 matter what it is, whether it's in-basin, you know, City of  
12 Los Angeles transmission upgrades, or if there are new  
13 corridors, that allows us to rapidly back down the  
14 utilization of those plants.

15 MR. BARCIC: And just to echo Jason and LADWP's  
16 experience with their IRP and those gas findings, CPUC IRP  
17 finds very similar things. The further out in the time  
18 horizon you go, often our cases are retaining the gas  
19 instead of running it way less. And so what does that mean  
20 for, you know, the sorts of reliability questions, but also  
21 policy questions that the state's grappling with? And do  
22 we need to examine our own tools across the planning  
23 community to figure out, is there a way to thread the  
24 needle to plan for a future where policy goals don't  
25 accidentally trump reliability goals, so to speak?

1                   COMMISSIONER DOUGLAS: Thank you.

2                   MR. RONDOU: Sorry, Nathan. You brought up such  
3 an important point that I feel really needs to be  
4 underscored, which we've got really robust planning  
5 processes and ways to approach things like reliability and  
6 decarbonization. And one thing that I think needs to be  
7 contemplated a lot more is how we quantify resiliency and  
8 how we approach that. And the reason that I think that's  
9 so important is because, again, you know, without  
10 planning -- you know, right now it's done, in some ways, a  
11 little bit qualitatively. You know, to what degree do we  
12 have risk of wildfires, earthquakes, and other unplanned  
13 events?           But the reason it's so important now is  
14 what's at stake is not just the decarbonization of the  
15 grid, but the facilitating of the transportation and  
16 building sectors? And if we sacrifice resilience along the  
17 way, what type of headwind does that create the  
18 decarbonization of those other sectors?

19                   And so I wish I had a perfect answer, except to  
20 say, we really need to figure out how we approach  
21 resiliency. And the way that we've approached it, is we  
22 said under certain scenarios, if we lost major transmission  
23 corridors for extended periods of time, what resources  
24 would we need to have to make sure that we maintained  
25 reliability? They wouldn't be used very often, but what

1 would those have to be? We may need to reflect on is that,  
2 you know, do we need to have a more formal approach where,  
3 you know, there's consistency across the state in how we  
4 approach resiliency?

5 So I just wanted to -- sorry to jump back in, but  
6 I felt like that point really needed to be made.

7 COMMISSIONER DOUGLAS: Well, and it's --

8 MR. BILLINTON: And I'll just add one. I'll just  
9 add one because it was there was the resiliency and that's  
10 an important and in our planning the wildfire, in our last  
11 transmission planning process, started that analysis to  
12 look at the resiliency and impacts of wildfire on the bulk  
13 grid in particular.

14 COMMISSIONER MONAHAN: Well, this is a perfect  
15 time for our Vice Chair to step in with his questions since  
16 he's our point for resilience and planning.

17 VICE CHAIR GUNDA: Thank you. I think, actually,  
18 the questions that, you know, Commissioner McAllister and  
19 Commissioner Douglas kind of raised kind of goes to the  
20 point, but wanted to just kind of maybe see if you have a  
21 quick answer here.

22 So first wanted to thank Commissioner Douglas on  
23 the help that she provided in kind of articulating and  
24 capturing the 20-year Transmission Plan along with CAISO,  
25 so just a big thanks on that.

1           But, you know, I just want to extend on the  
2 process of synchronization across the different BAs  
3 (phonetic) in California. And I think that's kind of like  
4 an underlying dialogue here, which is I think there are  
5 some organic conversations happening and some processes in  
6 place to help us understand, you know, how we can do  
7 transmission planning in a coordinated fashion,  
8 understanding our resource plans.

9           And maybe Jason or Jeff, if you could just  
10 comment on, how are we thinking all California; right?  
11 Like and how are we, you know, connecting with other  
12 California in a balancing areas?

13           But also, and I'm just thinking about the 30,000-  
14 foot level, we have a resource base today in California,  
15 and we have a transmission base here in California. Do we  
16 have venues where we are capturing collectively our goals  
17 in a more detailed fashion; right? I mean, SB 100 does not  
18 give you a granular level of ability to understand whether  
19 we have the necessary power flow between, you might say, oh  
20 yeah, we have this resources.

21           So are there venues, is there a need for us to  
22 have better coordination on understanding how, with the  
23 policy goals in mind, we use the existing fleet to allow  
24 for the transition, not just for any one BA, but California  
25 as a whole?

1           MR. BILLINTON: I think right now a lot of that  
2 is, is as we have our transmission planning process, it's  
3 open and transparent and information of identifying our  
4 needs and the portfolio. And similar to L.A., where  
5 they've come out, I wouldn't say there's the formal other  
6 than right now within the SB 100, but there is a  
7 collaborative of ourselves having regular discussions as we  
8 look at it, and especially as our plans and needs become  
9 kind of public in awareness.

10           And then as Jason indicated, and there's the  
11 opportunities for collaboration when we understand what the  
12 needs of the other areas are. And I think that's  
13 important, is we need to identify what is the needs and the  
14 resources, like the IRP, which is public, and where they're  
15 located. How does that align with the other agencies? And  
16 is there opportunities to collaborate?

17           A lot of that, like you said, is we're doing with  
18 regular and consistent discussions between, but is there,  
19 other than SB 100, other forums? Not right now, I don't  
20 believe, from an internal in California only.

21           MR. RONDOU: Yeah, I see it's, you know, in some  
22 ways the irony of this is that in past years it was very  
23 easy for us, for LADWP, to develop our Power Plans and then  
24 have a Transmission Plan that supports that, and then the  
25 next year to Power Plan, and ensuring that those two are in

1 sync. And that worked under incremental change.

2 But as we talk about more rapid change, that  
3 iterative process means that we lose a year each time that  
4 we do that. And it also means that we're not intentionally  
5 looking, you know, two decades out, which means that we,  
6 LADWP, we need to reevaluate how we internally synchronize  
7 those two efforts, which then means that the  
8 synchronization with the state, you know, is going to have  
9 to be that much more important. And we'll say that there  
10 will certainly be an opportunity to do that.

11 One benefit is that we historically have done a  
12 Power Plan every single year, which has allowed us to, you  
13 know, be able to, you know, collaborate a little bit more  
14 clearer.

15 But as that complexity grows and it's not just,  
16 you know, the complexity of our transmission planning, but  
17 also our resource planning and understanding what our  
18 choices mean for air quality and for not just rates but  
19 what does it mean for energy burden as customers switch off  
20 gas and gasoline and natural gas and so on, all of that  
21 adds to the sophistication and the complexity of our power  
22 planning, which just means that synchronization is going to  
23 be, you know, even potentially more challenging. But as  
24 Jeff mentioned, the dialogue is there and the opportunities  
25 for synchronization is there.

1           One key difference for LADWP is that we may have  
2 a little bit more flexibility with respect to our power  
3 planning because our ability to bring items to our Board of  
4 Commissioners and to City Council and so on. So we may  
5 have -- and that's not sort of the rigid three-year  
6 process. That gives us a little bit more flexibility to  
7 tailor our planning around other potential internal and  
8 external forces.

9           COMMISSIONER MONAHAN: Well, I want to thank this  
10 panel for their great contributions.

11           And Jason, I think you summed it up well in terms  
12 of like what we need to plan for is rapid change, where we  
13 have systems that have been sort of planning for sort of  
14 like less rapid or, you know, declining load. Now we're  
15 talking about rapidly accelerating load. So that is our  
16 challenge before us.

17           So let me pass it back to Ben, who's going to  
18 kick us off to the next panel.

19           MR. WENDER: Just echo my sincere thanks.

20           We're going to zoom in a little more specifically  
21 now really on interconnection processes. Let me introduce  
22 Neil Millar. He's Vice President of Transmission Planning  
23 and Infrastructure at the California ISO, and looking  
24 forward to this panel.

25           Thanks, Neil. Take it away.

1 MR. MILLAR: Okay. Thank you very much, Ben.

2 First, if we could just move to the next slide,  
3 please? Yes.

4 I'm Neil Millar with the ISO. I was going to  
5 walk through some higher level issues that we're taking on  
6 at the ISO, and then we'll be introducing panelists from  
7 the three utilities to talk about their own activities.

8 So just to kick it off, next slide, please.

9 Building on the comments you've already heard  
10 this morning, both from President Reynolds, Elliot Mainzer,  
11 as well as Shannon Eddy and Jeff Billinton, we are looking  
12 at relatively transformational changes in our  
13 interconnection process that key off of and are coordinated  
14 with the other major processes that all involve leading up  
15 to what actually gets built.

16 And for us on the interconnection process side,  
17 that clearly means tightening the linkages between the  
18 resource planning, the transmission planning, and having  
19 those activities shape, not only where we're prioritizing  
20 our resources on our interconnection processing efforts, as  
21 well as seeing and encouraging that the load serving  
22 entities own procurement activities are also prioritizing  
23 those key areas and zones.

24 So we do have stakeholder process now underway to  
25 make these broader changes to our interconnection process,

1 keying off of the strategic direction that was established  
2 with Public Utilities Commission and the Energy Commission.  
3 And those were really set out in that Memorandum of  
4 Understanding that you've heard about before that was  
5 signed in December, 2022.

6           It did touch on other areas, including  
7 formalizing the linkages between the Energy Commission's  
8 longer-term planning work and the more instant processes,  
9 as well as reaffirming the state agency commitments around  
10 single-forecast set coordination. But the ones we're  
11 really keying off of and that are most relevant today  
12 really focus on those tightening of linkages with the zonal  
13 approach that Jeff referred to in our Transmission Plan,  
14 based off of the resource planning coordinated with the  
15 state agencies, and having that shape how we move forward  
16 in our interconnection processes and interconnection  
17 activities.

18           It really calls on us to prioritize those energy-  
19 rich zones that are being targeted in the state planning  
20 processes, as well as managing the volumes of intake, the  
21 number of projects that we study within those zones, and  
22 the need to get back to more reasonable volumes that can  
23 provide actionable information, allowing resources to move  
24 forward.

25           We also see that we have to address the large

1 volume of projects that are already in our queue, and many  
2 of our past processes allowed projects to get into the  
3 interconnection queue and perhaps linger while they may not  
4 be as viable as other projects that are coming along later.  
5 So that's another area that we know we have to address.

6           And as I said, this interconnection work then has  
7 to be taken to the next step of actually being used to help  
8 shape the procurement activities by the many load-serving  
9 entities that are ultimately responsible for getting  
10 resources under contract that is a key element to them  
11 moving forward.

12           Some of the material I'll touch on next just  
13 reinforces why these changes were necessary. I'll draw a  
14 finer point on some of the material you may have already  
15 heard of or you may have already heard earlier this  
16 morning.

17           So if I could move to the next slide? Thank you.

18           In terms of the volume of resources that actually  
19 need to be built and moved through, you know, referring  
20 back to some of Jeff's material, we're talking about  
21 volumes being required in the next year's Transmission Plan  
22 of over 7,000 megawatts a year of installed capacity to be  
23 added to the grid each year for the foreseeable future.  
24 This does have us on the trajectory to get to the 20-year  
25 outlook portfolios that were established. So we see we're

1 on the right trajectory or a solid trajectory being  
2 established.

3           Now over the last two years, we've been adding on  
4 average about 4,000 megawatts or just over 4,000 megawatts  
5 average of new installed capacity each year. But the  
6 challenge, of course, is ramping that up to over 7,000  
7 that's needed to meet the state's long-term goals. Now  
8 this year is a bit of an anomaly where we're currently on  
9 schedule, still at this point, to add over 7,000 megawatts  
10 in 2023. But the challenge would be to maintain that pace  
11 year over year, which our current processes were not  
12 designed around.

13           If I can move to the next page, please?

14           And just reinforcing that point, this graph shows  
15 how the need for us to prioritize precious planning and  
16 engineering resources, responding to the higher  
17 requirements of generation being expected in the future,  
18 the volume of new interconnection requests is also  
19 skyrocketed. That started in 2021 with the Cluster 14  
20 April interconnection window generating 373 applications,  
21 which was more than double the highest ever previous  
22 number. And of course, that even now pales compared to the  
23 541 completed applications that came in just a few weeks  
24 ago, which in total installed capacity represent 354  
25 additional gigawatts. Now that's in addition to the 180

1 gigawatts of capacity already in our queue.

2           So this level of resource application interest  
3 clearly overwhelms our current study processes. Even if  
4 we're capable of producing the results, the usefulness of  
5 some of those results when you're studying such a huge  
6 volume, it's clearly inefficient and provides less  
7 meaningful study results. So this clearly calls on the  
8 need for us to take action and move forward with more  
9 substantive transformative changes, better prioritizing  
10 where we're putting our energies.

11           If I could move to the next slide, please?

12           So just to wrap up, and before I introduce the  
13 panelists, we do see that introducing the challenges of  
14 managing increased resource requirement and the volume of  
15 competitive interest in meeting those needs really requires  
16 action across the spectrum, both the transformational  
17 changes I was describing, as well as collaboration across  
18 the entire spectrum of planning, procurement, and resource  
19 and transmission planning. We see those tighter linkages  
20 being critical across those four major processes.

21           Of course, we also see transmission project  
22 execution being critical, and that includes the streamlined  
23 permitting processes. Now these also require reviewing all  
24 of our existing processes to maximize new resource  
25 interconnection, ensuring that it's done efficiently, cost-

1 effectively, and also reliably. And that's a key aspect  
2 here that in the race to get new resources connected, we  
3 must also ensure that reliability is maintained and that  
4 the resources can be called upon when we need them.

5 So that wraps up my introductory slides for the  
6 panel. I would now like to turn it over first to Dana  
7 Cabbell, Director of Transmission System Planning and  
8 Strategy, and Allison Auld-Hill, who's from Southern  
9 California Edison, who will now walk through their  
10 material.

11 Dana?

12 MS. CABELL: Great. Thank you, Neil, and good  
13 morning, everyone. Glad to be here.

14 So if we can move to the next slide?

15 So the first slide here really gives the high-  
16 level overview of the whole interconnection process. And  
17 I'm sure my other panelists will have similar type of  
18 slides, too, to kind of lay the foundation and the  
19 framework.

20 As we go through when the utilities receive the  
21 applications, you know, the intake, as we process and  
22 review those applications to ensure that they're complete.  
23 And then, you know, it moves forward into more of the  
24 scoping meetings when we meet with the interconnection  
25 customer to ensure that they understand kind of some of the

1 challenges, maybe, where they're wanting to interconnect  
2 and really finalize their interconnection requests. And  
3 then, of course, we move into technical studies and  
4 interconnection agreement, and then finally, project  
5 construction and implementation.

6           You know, as you can see, as you add up the  
7 months that we've added there, I mean, this is a from  
8 application to online date, it is -- you know, it could be  
9 a five- to six-year process. So clearly, trying to  
10 streamline this process and improve upon some challenges  
11 are going to be very key as we move forward, trying to add  
12 the seven gigawatts of resources a year.

13           So if you can move to the next slide?

14           It was important to kind of go through that  
15 interconnection process, because I want to use it as a  
16 backdrop as we start talking about some of the hurdles and  
17 the delays, some of these opportunities that we see that we  
18 need, too, as we move forward into streamlining and  
19 improving these processes.

20           You know, the timelines for the initial intake  
21 and study processes are generally governed by tariff study  
22 timelines, as I'm sure you're all aware of. And as you're  
23 all aware of, too, the whole cluster process does include  
24 this intake and scoping phase, a Phase I study and a Phase  
25 II study, you know, with the opportunities for customers to

1 withdraw between each of these phases.

2           You know, SCE, we've observed that projects that  
3 withdraw early in the process tend to have significant  
4 costs or time duration associated with the necessary  
5 upgrades to interconnect their resource, their project, or  
6 the project just does not receive full deliverability from  
7 the ISO or a PPA contract.

8           With the interconnection agreement, the time  
9 spent developing the interconnection agreement is really  
10 highly variable. A highly motivated customer may enter  
11 into a letter agreement after a Phase I study so that SCE  
12 can begin engineering and procurement and then promptly  
13 replace that with the interconnection agreement after phase  
14 two studies. Another project may intentionally delay their  
15 project to seek deliverability in the next cycle or wait on  
16 a Power Purchase Agreement before proceeding.

17           When we look at project implementation, it varies  
18 significantly also, both in scope of upgrades needed and  
19 the hurdles that come through the execution. You know,  
20 what we've seen is both SCE and our interconnecting  
21 customers can experience a variety of challenges in design,  
22 more recently procurement of equipment, and construction  
23 going through the permitting and licensing that needs to  
24 happen. This also includes the difficulty in receiving  
25 materials, doing all the line crossings that might have to

1 occur, and coordinating all the outages and other  
2 activities.

3           You know, here at Edison, you know, we've had  
4 challenges with delays for projects interconnecting to some  
5 legacy, what we call remedial action schemes, or RAS, and  
6 to our new centralized RAS, or CRAS as you might hear,  
7 which is an automated monitoring and tripping protection  
8 scheme designed to enable reliable interconnection of more  
9 projects and megawatts that would normally otherwise be  
10 allowed. And CRAS is the SCE updated version of the RAS  
11 that is more modern and flexible.

12           RAS and CRAS can be quite complicated and require  
13 specialized design and testing personnel. So we've seen  
14 some trying to make some real improvements in this area to  
15 bring on more of the specialized skills to be able to  
16 design and test this, and also make sure that we have the  
17 equipment to be able to provide this mitigation and be able  
18 to interconnect the megawatts that we need to connect.

19           If you go to the next slide?

20           What I wanted to show here are some recent  
21 trends. And I think it kind of builds upon what Neil just  
22 shared, also, and what I believe has been shared  
23 previously, that what we've been seeing as projects coming  
24 into the queue. And as everybody recognizes and sees,  
25 there's significant amount of requests or the recent years.

1 You know, with Neil sharing the most recent number with QC  
2 15, that's just, it's from my perspective, pretty mind  
3 boggling on how we're going to be able to really run the  
4 studies that we need to run and understand where, what is  
5 needed on the grid to be able to integrate those resources  
6 in these cluster studies.

7           So, you know, the impact of number of projects  
8 and total megawatts on the system, these projects also  
9 gradually increase, have been increasing in average size.  
10 Overall, this leads to studies that need to be incorporated  
11 amount of generation into the Edison system. And I'm sure  
12 the other, PG&E and San Diego, are feeling the same. That  
13 is much higher than our annual peak load, especially when  
14 considering existing and previous queue generation.

15           This all leads to a lot of uncertainty in which  
16 upgrades will ultimately be needed, and when? This is a  
17 key reason that Edison has supported the whole  
18 interconnection reforms that the ISO has laid out in their  
19 interconnection process enhancements.

20           Another trend has been towards battery-only and  
21 hybrid projects. In the most recent published Cluster 14,  
22 only a small minority of projects do not include some form  
23 of energy storage, which is great because that's going to  
24 help with the reliability of the grid. However, having  
25 energy storage in the mix is a little more complicated and

1 creates more complexity in the study work that we need to  
2 do.

3 Cluster projects have the opportunity to finance  
4 area delivery network upgrades, which are upgrades to  
5 relieve the area deliverability constraints. SCE develops  
6 scope estimates for these mitigations every year after the  
7 Phase I as part of the Phase I studies. But there has been  
8 a consistent lack of customers that select this option to  
9 be able to, you know, select the option to build and  
10 support those deliverability upgrades.

11 For projects that have come in service recently,  
12 as I mentioned previously for the Transmission Owner Tariff  
13 interconnection applications, it has been taking a little  
14 over six years. For WDAT, that's a Wholesale Distribution  
15 Access Tariff, it's about five years. And the reason why  
16 WDAT is lower is because it is more the distribution, sub-  
17 transmission level projects. So it's less scope, less time  
18 for upgrades, and permitting is a little simpler too.

19 If you go to the next slide, this is my last  
20 slide.

21 Really, you know, laying out all these challenges  
22 and, really, opportunities for improvement, you know, SCE  
23 has seen a consistent increase in generation  
24 interconnection work with an influx of all these  
25 interconnection requests. We are currently implementing a

1 variety of improvement efforts to better manage the  
2 existing project requests and streamline those for the  
3 future.

4           We are increasing the number of our staff in  
5 these critical roles, you know, the engineering and also  
6 the field skills that we need, the testing, more of the  
7 high-level test testing. So it's a very specialized skill  
8 that we're trying to build and bring onto our resource  
9 plans.

10           Create a dashboard to track, you know, flag  
11 projects that may have been stuck in a stage, one stage too  
12 long.

13           And then again, adding a new tool for intake so  
14 that we are able to release, really see where they --  
15 provide some integrated guidance to help the customers  
16 through the process. This tool consolidates internal  
17 systems into a single source of truth so we know where the  
18 latest projects are and the latest project information.

19           In addition to all these internal improvements,  
20 you know, we are very active in broader areas of  
21 interconnection reform, as I was mentioning, the ISOs, IPE,  
22 and also the FERC generation interconnection reforms. We  
23 see a lot of value in aligning all the interconnection  
24 requests in the state to the Resource Plan to make better  
25 use of study resources, and to really, as we've been

1 talking about, align where is that resource need, align it  
2 with the transmission capacity.

3           Also I'm very encouraged by some of the  
4 conversation that's been happening already. We really need  
5 to look at how do we build out this transmission grid?  
6 It's more of a longer-term, maybe medium-, longer term  
7 solution here to what we need to reform immediately. But  
8 what can we do to be proactive in building out the  
9 transmission system? And the current ISO plan, I think, is  
10 a huge step in that direction because I think that's what's  
11 really going to get us to meet our climate goals that the  
12 state has let out, that has provided to us as a North Star.

13           So I think I am done. So Neil, I'm going to hand  
14 it back to you.

15           MR. MILLAR: Thank you very much, Dana.

16           Okay, so next I'll introduce Savir Nagra,  
17 Director of Asset Planning at Pacific Gas and Electric, and  
18 Marco Rios, Manager of Transmission Planning at PG&E.

19           MR. RIOS: Good afternoon, Neil, thank you so  
20 much. I will be talking today. And similar to Dana's  
21 presentation, we prepared a few slides that are intended to  
22 give you a high-level overview of the various stages of  
23 interconnection process, as well as some of the challenges  
24 and specific metrics for PG&E.

25           So if we could go to the next slide, please?

1 Thank you.

2 We chose to show four stages here, but really it  
3 follows the exact same process as Dana just described. And  
4 so I will not read everything on here. I'll just highlight  
5 a few key areas that I think are important to understand.

6 And for the first piece, you know, after the  
7 customers have submitted their application, we, the CAISO  
8 staff and PG&E staff, we spent considerable amount of time  
9 with the customer reviewing and validating the application  
10 information, just to make sure we have all the data  
11 necessary and it's complete so that we could move on to the  
12 next stage and do the studies.

13 What we find, also, that we think is really  
14 valuable here in this stage is that we help, in those  
15 conversations, we also help the customers, giving them  
16 input on the feasible interconnection options. And we  
17 think that this is good information for them, too, and for  
18 the success of the project. So I wanted to highlight that.

19 In the second stage, that's where we proceed into  
20 the technical study work, two phases, as Dana described.  
21 And here, what I want to highlight is how comprehensive and  
22 complex the studies are. And they are designed to identify  
23 the requirements for these generation projects who connect  
24 to the grid reliably. But, you know, the more projects  
25 that you have to study, you also identify a lot of possible

1 violations that require mitigation and cost responsibility.  
2 And as you could imagine, as the numbers grow there, the  
3 mitigations get more complex and so on.

4           For the third stage, that's when we -- after the  
5 studies, assuming projects are moving forward, very key to  
6 get into the execution of the generation interconnection  
7 agreement and posting some of the financial securities so  
8 that we could initiate some of the project activities, like  
9 project design, which is going to inform the project  
10 permits. And, also, it's becoming very key now to get  
11 ahead of ordering long lead material procurement. So it's  
12 very key that those IAs are executed timely and we get the  
13 financial postings there.

14           And similar for once we get into the actual  
15 execution of the project, we need to -- you know, ideally  
16 we have the project's financial hosting secure so that we  
17 could actually get into building the project. So at this  
18 stage, we get into the construction. And, also, I'll speak  
19 on the next slide about the challenges about the clearances  
20 when you're talking about many, many upgrades.

21           The one last thing I want to highlight here, we  
22 added a bullet at the end of each phase just to show, in  
23 addition to the customer, in addition to the CAISO staff,  
24 just a massive amount of effort that takes, just within  
25 PG&E, to coordinate and manage all of these studies, all

1 the different activities. It's multiple departments. And  
2 even though you're looking at, you know, a pretty five-,  
3 six-year period here, when you're talking about all these  
4 things that need to happen, it feels like you don't have  
5 time. It's a very aggressive process. So just wanted to  
6 highlight that.

7           Next slide, please.

8           This slide, we cover some of the same things  
9 we've been discussing. If you add it at the time, we come  
10 up with the same rough timeline as Dana just described. We  
11 have a six-year process from when the time an application  
12 comes into the CAISO until it can be a project could come  
13 into service, so that's a challenge.

14           I alluded to Neil also has discussed the  
15 challenges with the technical studies. Given the large  
16 volume of projects and megawatts that we're having to  
17 study, the studies are becoming more and more complicated.  
18 And also the upgrades that are resulting out of that are  
19 also large. And those can be difficult as well, not only  
20 to plan for, but also then to design and execute.

21           So there are sometimes places where we need to  
22 upgrade multiple lines in a corridor. And in some of those  
23 areas, for example, clearances can become very difficult, a  
24 huge challenge; right? Because you do want to ensure that  
25 when you're taking elements out of service, that you do

1 have a reliable system. And then you also have to  
2 coordinate that with the regular maintenance work that is  
3 happening at the utility. So those clearances could  
4 definitely become a challenge as the projects get more and  
5 more complicated.

6 We've also talked about constrained resources and  
7 we're talking about the highly skilled engineering folks  
8 that are needed in other areas. And these folks, it  
9 takes -- it's an industry wide concern. It's difficult to  
10 find, to hire, and then to train these folks. This is ,for  
11 sure, a challenge that we continue to struggle with.

12 And then the last piece, customer readiness, we  
13 want to make sure that customers are ready to, you know,  
14 execute an interconnection agreement to put down their  
15 financial posting so that we could start working on project  
16 activities so that, you know, there is not delays from that  
17 point of view. And if there are delays there, sometimes we  
18 could see that, you know, there are projects downstream  
19 that could be impacted.

20 Next slide, please.

21 Yeah, this is a pretty full slide, but I think it  
22 has some of the same takeaways as Dana showed.

23 What really we wanted to show, if you focus on  
24 the first grouping, for example, we wanted to show for the  
25 last ten years the number of applications that have come in

1 for that particular cluster year for the beginning service  
2 area, and then the number of megawatts that came in. So if  
3 you look at the first one, I think it says 28 and close to  
4 1,900 megawatts there. And for the many of the years up to  
5 Cluster 13, the number of applications never exceeded more  
6 than 70 and less than 20,000 megawatts. That wasn't the  
7 case in Cluster 14 where we received 185 applications and  
8 over 46,000 megawatts of generation just in the PG&E  
9 system. So as we've stated before, that makes the study  
10 process very, very difficult.

11 The other interesting thing as you look at the  
12 chart is the second bar, the light blue bar there, and that  
13 really shows the withdrawal rate for most of the -- meaning  
14 the projects that eventually dropped out of the queue. And  
15 what we saw for the earlier years before Cluster 14 is that  
16 that withdrawal rate was about 75 percent, so many of them  
17 were withdrawing at some point in the process. But in  
18 Cluster 14, more than half of the folks remain in the queue  
19 and are going through their phase two studies. So again,  
20 we're dealing with a lot of megawatts.

21 So all in all, today we have 197 active projects  
22 which would add about close to 45,000 megawatts of  
23 resources to the grid. And for comparison purposes, the  
24 PG&E peak load is 22,000 megawatts. So when you have  
25 studies where things need to, you know, balance out, you

1 know, for the studies, this represents a huge challenge.

2           Okay, I think we should move to the next slides.

3           So what are we doing at PG&E to address some of  
4 these concerns?

5           On the staffing part, we are continuing to  
6 monitor the staffing levels and resources needs and acting  
7 as necessary. One example is in 2021, we created a group  
8 specifically to deal with generational interconnections  
9 when it comes to substation and transmission line  
10 engineering. That group has really, really -- it was  
11 almost a fun time to help with this Cluster 14, it's super  
12 helpful there. And also we've increased staff in other  
13 areas like in planning organization, we hire contractors as  
14 needed as well.

15           Processes, when we get to the execution piece of  
16 the process, we are continuing to review the type of  
17 activities that we do there for internal approvals. And  
18 when can we start, you know, pulling certain triggers  
19 there? And we're trying to get better at the execution  
20 process phase of the process.

21           We continue looking at innovative ideas or out-  
22 of-the-box ideas. The one example we put here is 500 kV  
23 circuit breaker upgrades. What we identified through the  
24 process, through the study process, is that they needed to  
25 be replaced, which would have taken not only a huge

1 investment, but also a long time to be able to clear those  
2 lines to replace those breakers.

3           And so we working with the manufacturers, we were  
4 able to just upgrade those breakers so that they didn't  
5 have to be replaced. And that was super helpful in that we  
6 did not have to deal with the replacement of them.

7           The last piece is transparency and getting  
8 involved. We continue participating through the  
9 transmission development forum, providing status on our  
10 projects, answering questions.

11           And then the last piece is we continue working  
12 with the CAISO on the initiatives that they have to address  
13 the issues that are being discussed.

14           And that is the end of my presentation. Neil,  
15 I'll give it back to you.

16           MR. MILLAR: Thank you very much, Marco.

17           So moving right along, I next get to introduce  
18 Simret Tesfagiorgis, who's the Transmission Planning  
19 Manager at San Diego Gas & Electric.

20           Simret, I'll turn it over to you.

21           MS. TESFAGIORGIS: Thank you, Neil. Good  
22 morning. Can you hear me okay? Alright. Good morning,  
23 everyone. So I'll be covering for San Diego.

24           So as, you know, just like my two predecessors,  
25 right, SDG&E's generation interconnection process follows

1 CAISO study process; right? Our role here, in the steps we  
2 take throughout the process, really up to the completion of  
3 the study phase, are largely similar to what was just  
4 covered by, you know, PG&E and SCE, and it involves the  
5 application processing and, again, the two study phases.  
6 And the timeline for each step is really coordinated and  
7 follows cluster study plan and is governed by the tariff.

8           So for SDG&E, the estimated time for the upgrades  
9 that are needed are, by the end of it all, gets issued in  
10 the study report we provide to the customers. And again,  
11 after the study phase, the time it takes for GIA execution  
12 and up to energization typically depends on the customer.  
13 So that's dependent on the IC, their interest and how  
14 quickly they can overcome the challenges that affect the  
15 development of their project, you know, challenges such as,  
16 you know, getting PPA, securing land rights, and other  
17 issues. So SDG&E, we try to move at the pace of the  
18 customer to get resources online as quickly as possible.

19           Next slide, please.

20           So we are currently on track to build upgrades  
21 that are needed to support interconnections, avoiding  
22 delays to schedules and milestones while maintaining a high  
23 degree of service. This is, you know, to say that we're  
24 coping and we're moving along. And we do so closely  
25 collaborating with CAISO and our interconnection customers.

1 And again, this is despite the ever increasing queue volume  
2 that continues to be unrealistic to study; right? This  
3 large volume, again, distracts the resources, the same  
4 resources that would be needed, you know, to get near- to  
5 mid-term resources come online or projects come online.

6 So just looking at the chart, looking at clusters  
7 14, 11 gigawatts, whereas of interconnection is seeking,  
8 you know, is seeking interconnection into SDG&E system.  
9 Out of that, 41 percent currently withdrew even before  
10 moving to Phase II.

11 So, you know, in a sense, we are keeping up with  
12 processing all these interconnection, but the process is  
13 inefficient; right? So it requires improvement. So SDG&E  
14 will continue to stay, you know, actively involved in  
15 initiatives to help with this, such as, you know, CAISO's  
16 interconnection process enhancement and to help manage this  
17 overheated queue issue.

18 Next slide, please.

19 So, you know, it's good to have the resources in  
20 queue, available in queue and wanting to connect for  
21 resource adequacy. And we need to connect these resources  
22 faster. And it's been, you know, echoed several times  
23 throughout, you know, today; right? And this cannot happen  
24 without having transmission. And it's encouraging to see a  
25 Transmission Plan included in this year; right? But for

1 SDG&E, what we see is the biggest hurdle for having  
2 transmission is permitting; right? So permitting is really  
3 key that we need, you know, that needs to be formed; right?

4 So from SDG&E's perspective, this may be a good  
5 opportunity and this may be the biggest item that, you  
6 know, that needs to be addressed, right, to get the  
7 resources online sooner. And we hope here, the Commission  
8 and the stakeholders would continue to work harder, right,  
9 to make, you know, the resources critical, you know, that  
10 are needed and need to qualify for RA online. So,  
11 you know, Neil, that's pretty much what I have and thank  
12 you.

13 MR. MILLAR: Thank you, Simret.

14 Okay, so next I get to introduce Lauren Silva,  
15 who's Manager of Energy Businesses and Regulatory  
16 Compliance Programs with the Imperial Irrigation District.

17 Lauren?

18 MS. SILVA: Good afternoon, Neil. Thank you.  
19 I'm Lauren Silva representing IID and I oversee the  
20 interconnection process.

21 Next slide, please.

22 So the Imperial Irrigation District was organized  
23 in 1911 under California Irrigation District Act and is  
24 governed by a five-member board of locally elected and  
25 appointed officials. IID is a publicly-owned utility and

1 is the sixth largest utility in California, controlling  
2 over 1,100 megawatts of generation, and it is its own  
3 balancing authority.

4 Next slide, please.

5 IID's Open Access Transmission Tariff, or as we  
6 call it, its OATT, was adopted by the Board in 2001 and it  
7 identifies IID's process and requirements to seek  
8 interconnection to the IID system.

9 Next slide, please.

10 IID's current generator interconnection process  
11 is a serial first come, first served process. An  
12 interconnection customer will submit an interconnection  
13 request with associated technical data and the required  
14 deposit. IID will then have five business days to  
15 acknowledge the interconnection process and either provide  
16 the interconnection customer with a list of deficiencies or  
17 deem the application complete. If there are deficiencies,  
18 the interconnection customer will have an additional ten  
19 days from IID's notice to cure such deficiencies.

20 Once an application has been deemed complete, IID  
21 posts its interconnection request on the OASIS site and has  
22 ten calendar days to schedule a scoping meeting. After the  
23 scoping meeting, IID will tender a System Impact Study  
24 Agreement and will have 90 days to provide a complete  
25 application and will have 90 days to perform such study.

1 IID will then host a results meeting and if the  
2 customer accepts the System Impact Study, then IID will  
3 tender a facility study agreement. IID will then have 90  
4 days to perform the facility study. If the customer  
5 accepts the study, IID has 30 days to tender a generator  
6 interconnection agreement.

7 As you can see, IID's process is roughly 150  
8 days.

9 Next slide, please.

10 IID's System Impact Study identifies impacts to  
11 its system and defines the mitigations needed for  
12 interconnection. The Facility Study refines the  
13 mitigations and defines the infrastructure needed for  
14 interconnection. The Generator Interconnection Agreement  
15 contains the contractual obligations of the interconnection  
16 customer to build the infrastructure and costs associated  
17 with interconnection.

18 Next slide, please.

19 So there's one process to interconnection to  
20 IID's system, however, it's a separate process to actually  
21 export energy via transmission service. A customer must  
22 submit a transmission service request via IID's OASIS site,  
23 along with associated reserve capacity deposit in order to  
24 secure transmission service. If IID has capacity to serve  
25 the request, IID will tender a Transmission Service

1 Agreement. If IID does not have capacity to serve the  
2 request, IID will have 90 days to perform a Transmission  
3 System Study and identify the upgrades needed and the  
4 customers responsible for the costs associated with such  
5 upgrades.

6 Next slide, please.

7 So what are the IID's trends? IID has seen an  
8 increase in interconnection requests since 2021. In 2021,  
9 IID had only 17 projects in its queue with 2,370 megawatts  
10 of capacity requested with 9 active GIAs. Today, IID has  
11 42 projects in queue with over 5,800 megawatts of capacity  
12 requested with 13 GIAs in active construction. IID has  
13 seen a trend of storage-supplementing solar projects, as  
14 well as standalone storage.

15 Another trend IID has seen this year with regard  
16 to transmission service is the request for  
17 bidirectionality, customers wanting to import energy from  
18 the CAISO to charge their battery energy storage systems.  
19 Geothermal requests have remained steady over the last  
20 several years.

21 Next slide, please.

22 So IID does have challenges facing with the  
23 increase of interconnection and transmission service  
24 requests. Staffing constraints are one of IID's biggest  
25 challenges in accelerating the interconnection process.

1 IID's interconnection team consists of two employees, while  
2 IID's transmission planning staff consists of five. The  
3 amount of interconnections received versus the resources  
4 available has extended IID's timeline for System Impact  
5 Study completion from 90 days to approximately 180 days.

6 In order to keep up with the inundation of  
7 requests, IID is transitioning to a first ready, first  
8 served cluster process and has closed its queue window as  
9 of May 1st, 2023.

10 Another challenge IID is facing is transmission  
11 service saturation. IID's export capability is fully  
12 subscribed with requests in queue. Along with  
13 technological advances also come challenges. Bidirectional  
14 charging is new to IID and affects our operations,  
15 procurement, planning, and billing departments. IID is  
16 trying to fully understand how grid (phonetic) charging  
17 will affect us as a whole.

18 Next slide, please.

19 So what is IID doing to resolve these challenges?  
20 As I mentioned, IID closed its interconnection queue and  
21 will also take this time to improve its interconnection  
22 process, and it's finalizing its reform to its Open Access  
23 Transmission Tariff. Under the reform, IID is moving to a  
24 cluster process with a first ready, first served approach.  
25 IID plans on implementation of the revised OAT by January

1 1, 2024, subject to final Board approval.

2 In order to interconnect clean resources to its  
3 grid, IID has several transmission projects it's  
4 participating in. The Salton Sea Transmission Line project  
5 is a proposed 230 kV interconnection from IID's Ramon  
6 Substation to SCE's Devers substation. The project is  
7 customer driven, and it's needed due to the large influx of  
8 geothermal interconnections into IID's queue that require a  
9 new path into the California ISO.

10 The project is currently in the study phase with  
11 Southern California Edison under its Transmission Owner  
12 Tariff and is expected to be completed July of this year.  
13 The project will be approximately 15.6 miles of new  
14 transmission line with a proposed in-service date of  
15 Quarter 3, 2026. With this new transmission line in  
16 service, IID can anticipate on having approximately 1,100  
17 megawatts of additional export capabilities.

18 IID is also in the process of increasing its Path  
19 42 rating from 750 megawatts to 1,300 megawatts, giving IID  
20 an additional 550 megawatts of export capability. The  
21 Mirage 2 Transmission Project is a new transmission line  
22 from IID's Ramon Substation to SCE's Mirage Substation and  
23 will stabilize issues experienced during Path 42  
24 contingencies. The proposed in-service date for this  
25 project is quarter 3 of 2024.

1 IID is currently in construction with regard to  
2 18.1 miles of its S-line that spans from El Centro  
3 Switching Station to Imperial Valley Substation. Part of  
4 the project is the upgrade of Bank 5 at El Centro Switching  
5 Station, which will also increase export capability. IID  
6 participates on completing this project this year.

7 IID is also a major stakeholder in the North Gila  
8 to Imperial Valley Number 2 project. This project is a new  
9 500 kV transmission line from North Gila to Imperial Valley  
10 with a 500 to 230 kV connection to the IID system, with an  
11 anticipated in-service date of 2026. This project is  
12 expected to increase the east of the Colorado River Path,  
13 West Path 49's transfer capability by 1,250 megawatts.

14 In order to improve its clean resources and  
15 enhance grid reliability, IID is actively working on  
16 participating in the energy imbalance market. This will  
17 assist IID by providing low-cost renewable energy as needed  
18 to serve real-time consumer demand.

19 Next slide, please.

20 So IID strives to serve the community in which it  
21 serves and has prided itself on providing reliable,  
22 efficient, and affordable energy service, including open  
23 access to transmission. IID has exceeded all renewable  
24 portfolio standard requirements to date, procuring  
25 renewable energy from diverse sources, including biomass,

1 bio-waste, geothermal, hydroelectric, solar, and wind. IID  
2 has adopted to changes in technology and resources over its  
3 years.

4 Last slide, please.

5 So IID has facilitated development of renewable  
6 projects and has interconnected a total of 42 projects to  
7 its system at 1,327 megawatts a generation. IID has 13  
8 projects with active GIAs for another 953 megawatts a  
9 generation. And this is outdated because our queue did  
10 close prior to me having to turn in these slides, so IID  
11 does have 42 projects in its current queue at 5,803  
12 megawatts of proposed generation.

13 Back to you, Neil. Thank you.

14 MR. MILLAR: Well, thank you for that, Lauren.

15 So before I turn it over to dais for questions, I  
16 think I would just make a few observations.

17 I think what you've heard is there's a lot of  
18 focus being applied to both managing the intake, the  
19 projects that are studied in the various processes, as well  
20 as how we go about conducting those studies and producing  
21 meaningful, timely results and moving through the process.

22 A few other common themes I just wanted to call  
23 out in particular, one is directly associated with that,  
24 which was the access to fully qualified staff to conduct  
25 the increased amount of work that's required to deliver

1 these results. And also, there was also a recurring  
2 message around the permitting challenges and the time that  
3 it takes to get permits for the necessary transmission  
4 reinforcements to get transmission or resource  
5 interconnections in place.

6 I just thought I'd call out some of those key  
7 observations, but now I'd be pleased to turn it over to the  
8 dais for questions.

9 COMMISSIONER MONAHAN: Yeah, and just ask my  
10 fellow members of the dais to put your video back on. And  
11 if you want to make a comment or have a question, if you  
12 could raise your hand, that would make it easier for me to  
13 call on you.

14 And I'm just going to start with a question  
15 around this first ready, first served approach that IID and  
16 LADWP earlier mentioned that they're taking. And just  
17 wondering, I'm not sure if any of the IOUs or Neil can  
18 speak more sort of comprehensively about whether there's  
19 applicability to that strategy broader than those two POUs?

20 MR. MILLAR: Well, it's Neil. I'd be happy to  
21 jump in with your first comment on that.

22 In general, when we hear people talking about  
23 transitioning to the first ready approach, that's often  
24 used to refer to transitioning from a more serial study  
25 process of dealing with each application as it comes in,

1 and any future application takes that earlier application  
2 into account. The first ready approach is more along the  
3 lines of the cluster study approach that we've been  
4 following for a number of years. And that approach did  
5 serve us very well for the better part of a decade, but it  
6 also runs into limitations when you start reaching this  
7 type of pace of resource development and the corresponding  
8 surge and interconnection requests.

9           And that's where the transformative changes I was  
10 talking about would still be keyed off of a cluster study  
11 approach but focus more on managing the intake of focusing  
12 our staffing resources, in particular, on the zones where  
13 resources are most likely to be developed that are aligned  
14 with the transmission planning and resource planning  
15 conducted by the state agencies, and also managing the  
16 numbers that we study even in those areas. I won't name  
17 which particular substation, but in Cluster 15, for  
18 example, we did receive, I believe, about 18,000 megawatts  
19 of interconnection requests at a single substation.

20           So even the cluster study approach and saying,  
21 well, we'll study everyone in a zone at the same time,  
22 that's clearly not going to produce a meaningful result.  
23 So we need to look at both of those issues. And I would  
24 say what we're doing now is needing to build beyond an  
25 initial step of first ready and take it to the next level.

1           COMMISSIONER MONAHAN: Elliot, I see you have  
2 your hand.

3           PRESIDENT MAINZER: Yeah. Thank you,  
4 Commissioner.

5           Neil, I was going to ask you maybe to click on  
6 that just a little bit more detail. When we think about,  
7 you know, the zonal approach that you and the team have  
8 developed, you know, based off lots of stakeholder feedback  
9 and some of the changes that we're contemplating in the  
10 interconnection process enhancement process for 2023 are  
11 clearly designed to try to help, first of all, try to get  
12 out of some of the, you know, just the process of  
13 developing studies that, quite frankly, in certain cases  
14 just aren't meaningful in terms of what's actually needed  
15 for the grid, consume huge amounts of workload, and really  
16 are, honestly, disconnected from the actual demand for  
17 power and transmission in different locations.

18           Can you just talk in a little bit more detail  
19 specifically how you see some of these, the IP enhancements  
20 that we're thinking about, potentially making material  
21 impacts on that and how the zonal approach can get us out  
22 of this process where the transmission planners are so  
23 paralyzed with processing incredibly huge numbers of  
24 interconnection queue request that it's really distracting  
25 from doing the planning and procurement that's most

1 essential for resource onboarding?

2 MR. MILLAR: Yes. Thanks, Elliot. Yes, I do see  
3 what we're looking at here with prioritizing where we focus  
4 our efforts and our collective resources on developing  
5 interconnection proposals. And some reasonable volume in  
6 those areas are critical to both reducing staff workload so  
7 that they're not distracted with producing somewhat  
8 meaningless studies, as well as enabling more meaningful  
9 results to be delivered more quickly to the projects that  
10 are more viable.

11 Our current process requires us to treat all  
12 incoming applications in an interconnection window equally  
13 and create the opportunity for projects that are even  
14 interconnecting in areas that are severely transmission  
15 constrained and where the economics of reinforcing the grid  
16 into those areas is clearly not palatable. We're still  
17 obliged to develop full detailed analysis for those  
18 projects as well on the off chance that the resources are  
19 interested in funding those upgrades themselves. And  
20 that's almost never acted upon, especially when we're  
21 talking about these more expensive upgrades.

22 So earlier prioritization of the areas, and for  
23 the industry to know that those are the areas, this is not  
24 meant to surprise people, the industry knows that those are  
25 the areas that we're prioritizing and that we will

1 prioritize and that we will be studying a reasonable volume  
2 and need to find a way to manage. And by reasonable, I'm  
3 not talking about just capping things at the volumes that  
4 are expected to be procured. We know we need to support a  
5 good, effective, competitive market for new resources.

6 But the level of oversupply coming into the queue  
7 are generating these results that are simply not  
8 meaningful. They're only being developed for the sake of  
9 developing a hypothetical cost gap structure. But we can  
10 be planning facilities that will never get built because  
11 referring to my earlier example of 18,000 megawatts  
12 connecting at a single substation, any plan geared around  
13 that will just not be meaningful.

14 So we see it being helpful on both of those  
15 aspects --

16 PRESIDENT MAINZER: Thanks.

17 MR. MILLAR: -- helping the industry prioritize  
18 where they're paying attention, and also helping us  
19 prioritize where we focus our precious planning and  
20 engineering resources.

21 PRESIDENT MAINZER: Thank you.

22 COMMISSIONER MONAHAN: Can I ask, Neil, and then  
23 I'm going to turn it over to the Vice Chair, who is the  
24 decider on whether we can avoid doing these costly studies?  
25 Is that FERC or --

1           MR. MILLAR: Well, the process changes that we're  
2 talking about will need to be approved by FERC. When we  
3 were dealing in different times with a much more relaxed  
4 cadence of new resource development and much smaller  
5 volumes in the queue, we were able to manage having, you  
6 know, people apply wherever they wished. The cadence  
7 allowed for providing study results. The projects that  
8 were not likely to be successful dropped out or perhaps  
9 lingered for a few years. And there was time for, then,  
10 procurement to take place, prioritize or select which  
11 projects would move forward, and that was working  
12 relatively effectively for that volume.

13           But now when you talk about needing to coordinate  
14 and ramp up a massive transmission bulk system redeployment  
15 in parallel with resource development occurring at an  
16 unprecedented pace of adding, you know, over 7,000  
17 megawatts of installed capacity a year, those processes  
18 just don't allow that.

19           So this is the stakeholder process we've embarked  
20 on. We've been communicating the overall strategy, but  
21 there are a lot of details to iron out. And that we will  
22 ultimately have to take to work to amend our care to enable  
23 that prioritization.

24           COMMISSIONER MONAHAN: Thank you.

25           Vice Chair Gunda?

1           VICE CHAIR GUNDA: Thank you, Commissioner  
2 Monahan. Just wanted to first start off by saying how  
3 awesome the panel was in just laying out some key  
4 timeframes that we need to consider as we think through  
5 this. And I have three dinky questions that could probably  
6 be tied together, not a broad one.

7           So, Dana, you mentioned, I mean, if I heard it  
8 right, that there is additional complexity in  
9 interconnecting storage projects, if I heard it right.  
10 I'll just frame my three questions, and then I'll just let  
11 you comment on them.

12           I think second, I think just from Commissioner  
13 Monahan's, you know, opening remarks, in the spirit of kind  
14 of figuring out what can be done in kind of enhancing this  
15 work very quickly, so maybe Neil, hearing from all the, you  
16 know, panelists here, what is the -- like, I mean, we have  
17 transmission. We talked about three elements. We have  
18 transmission. We have RA and IRP planning. And we talked  
19 about just the interconnection issue.

20           Do we have kind of a general idea on, based on  
21 the existing transmission, how far are we from kind of  
22 basically dropping off a cliff here on like being able to  
23 interconnect the necessary resources?

24           And how are we planning, I think the third  
25 question, the synchronization of what the existing capacity

1 is to interconnect, and how are we prioritizing to bring it  
2 back to what Commissioner Monahan was asking?

3 Sorry, the they're three separate questions that  
4 I thought could be framed together.

5 MS. CABBELL: Yeah, so I'll jump in first while  
6 Neil is jotting down the questions so he can respond. So  
7 thanks, Vice Chair Gunda.

8 Yeah, my point was not difficult to interconnect,  
9 but when you're studying energy storage, clearly you have  
10 to study the discharge and the charging. So now you're  
11 doing two types of studies; right? You're doing almost a  
12 load study. Is the grid able to serve that load by  
13 charging, especially if it's not a hybrid connected to a  
14 solar field? If it's a standalone storage is kind of what  
15 I'm referring to. And then, of course, discharge. And it  
16 could be different, because depending on the loading of the  
17 system as you're charging or discharging. So it just adds  
18 complexity to this study process, not necessarily  
19 complexity to interconnection.

20 MS. AULD-HILL: I'll also add in there quickly,  
21 as well, that I think, Dana, you mentioned earlier, Edison  
22 has a lot of remedial action schemes and centralized  
23 remedial action schemes. And a large part of that is  
24 knowing whether something is charging or discharging, which  
25 is fairly easy if you've got a load or a solar generator.

1 But as you add batteries, it becomes a lot more complicated  
2 to understand what's happening, as well as how that then  
3 interacts with the CAISO market model and that dispatch.

4 So there are a number of kind of concerns and  
5 opportunities, but concerns as well in those older systems  
6 trying to catch up to this new battery future that we're  
7 looking at.

8 MS. CABBELL: Thanks, Alison, for jumping in.  
9 She works with us day in and day out, so she's just kind of  
10 the expert on this challenge.

11 MR. MILLAR: Yes. And it's Neil.

12 Just tagging onto that, there are areas where  
13 remedial action schemes that may have been a viable  
14 solution when we were dealing with a simpler basket of  
15 resources are simply becoming too complex to operate.

16 And this past year, we have made changes to our  
17 remedial action standards around the level of complexity  
18 that can be designed around in a remedial action scheme,  
19 recognizing that we're dealing with what's becoming an  
20 increasingly much more complicated fleet of resources, that  
21 the old assumptions that fade into RAS design don't work  
22 anymore. And we've had to seriously reassess when are  
23 remedial action schemes a viable option, and when do we  
24 need to actually move on a transmission upgrade in lieu of  
25 a remedial action scheme.

1 Vice Chair Gunda, you also raised the question  
2 about the existing capacity. And I think that's something  
3 we need to clarify. You know, a common narrative we hear  
4 is there's no capacity available. There is transmission  
5 capacity available in the system, and we are maintaining a  
6 steady pace of new resource interconnection. But when  
7 people are coming in and applying new, they're behind a  
8 very long list of projects that have applied ahead of them  
9 in earlier clusters.

10 And that's a real concern about are some -- is  
11 some of the transmission capacity right now being held back  
12 from future or new interconnection requests by projects  
13 that are not ultimately likely to be successful? But the  
14 processes in the past were a bit more friendly about  
15 letting projects stick around longer and see if there was  
16 an opportunity with it would develop. So that's something  
17 we definitely need to look at.

18 The last time we posted this, I believe, was a  
19 year and a half ago, but we did take the unusual step of  
20 actually identifying all the projects in our queue that  
21 could actually move forward without needing any major  
22 transmission upgrades to move forward, just to provide that  
23 clarity. And we look to do that again once some of the  
24 dust settles on all the current applications as projects  
25 have been coming in and withdrawing. You need to have a

1 certain stable few months of stability there to work that  
2 out. But since then, I believe about two-thirds of those  
3 projects are under a Power Purchase Agreement and moving  
4 through the interconnection process.

5 So there is transmission available, but now we're  
6 talking about picking the pace up from, you know, several  
7 thousand megawatts of installed capacity a year to 7,000  
8 and sustaining that. And clearly, we need the upgrades,  
9 and we need the upgrades to occur on a timely basis to  
10 match that rapid acceleration in resource development.

11 VICE CHAIR GUNDA: Thank you, Neil. Just kind of  
12 on that one, so closing that off, you know, so we are  
13 talking about existing. You know, we have some  
14 transmission capacity, and we want to use that wisely, and  
15 we want to make sure the resources are connected as quickly  
16 as we can.

17 So just in that, when we talk about transmission,  
18 you know, we're talking about, you know, transmission  
19 interstate. We're talking about, you know, peak  
20 availability, you know, all sorts of things. Could you  
21 just comment on like, you know, just you said last year  
22 during the study, you were able to identify the net amount  
23 of projects that could be connected, so what is the  
24 ballpark of that? What's the ballpark number of, you know,  
25 NQC --

1 MR. MILLAR: Yeah.

2 VICE CHAIR GUNDA: -- or whatever the  
3 transmission could handle today?

4 MR. MILLAR: Well --

5 VICE CHAIR GUNDA: I understand it kind of  
6 depends on where you are connecting and all that stuff.

7 MR. MILLAR: Yes, it's dated now, but I believe  
8 that list at the time identifies up to 20,000 megawatts  
9 that could be developed with minimal transmission upgrades.  
10 Some of that did require remedial action scheme upgrades  
11 that Dana mentioned can also be a problem. We were  
12 focusing at the time on new transmission construction that  
13 would be running into permitting. So when we looked at  
14 needing no upgrades, that was down in the 5,000 or 6,000  
15 megawatts at the time.

16 But I do believe that we're well positioned for  
17 the next few years on -- you know, it's not that we're not  
18 able to connect resources, but we cannot sustain this pace  
19 without significant new transmission reinforcement.

20 That also involves, though, literally drawing on  
21 all of the resources as opposed to a competitive supply.  
22 If your competition is limited to only those projects, that  
23 puts the load serving entities in a much more difficult  
24 position, so we definitely need more capacity.

25 So it's a balance. We need more capacity going

1 forward. We need these projects to be successful. But  
2 there is capacity available, and we are sustaining the pace  
3 of development now, we're just concerned that we will not  
4 be able to sustain that if we don't refine these processes  
5 and move forward very quickly with refining these  
6 processes.

7 And things like Cluster 14 --

8 VICE CHAIR GUNDA: Thanks.

9 MR. MILLAR: -- and Cluster 15 have the potential  
10 to stall us completely. You know, those are real risks of  
11 trying to manage those volumes through our traditional  
12 processes.

13 VICE CHAIR GUNDA: Thank you, Neil. That was  
14 super helpful. Thank you.

15 COMMISSIONER MONAHAN: So let me pass it to  
16 Commissioner McAllister.

17 And just to highlight, we're trying to end at one  
18 o'clock so everybody can get a break for lunch before the  
19 next panel.

20 COMMISSIONER MCALLISTER: Yeah, just hopefully  
21 quickly, really appreciate the sort of nuanced discussion  
22 of existing process and how it can be improved and  
23 streamlined.

24 So Neil, you mentioned sort of, you know, trying  
25 to get to the worry of having projects that aren't likely

1 to be built, you know, sort of standing in the way of  
2 projects that are. And I guess as we move towards, you  
3 know, what sounds like more of a proactive, almost a  
4 concierge approach to kind of identify the projects, sort  
5 of force the issue a little bit and get those projects that  
6 are most likely needed to bubble up sooner, where are --  
7 you know, we have a lot of, you know, process kind of  
8 constraints and legal obligations, et cetera, to sort of  
9 follow in a relatively publicly accessible way, et cetera,  
10 to sort of, you know, follow in a relatively publicly  
11 accessible way, et cetera.

12           Where are, I guess, the risks of that sort of  
13 more proactive, you know, pushing to sort of get to a  
14 smaller group of viable projects more quickly?

15           And I guess, you know, the idea that's kind of  
16 floating in my head, and maybe it's a little bit behind the  
17 scenes here, is, you know, can there be a much more direct  
18 set of criteria to really kind of force that top tier, you  
19 know, the cream, to come to the top more quickly?

20           And in particular, the role of financing.  
21 Several of the speakers mentioned financing, you know, and  
22 it's clearly a key kind of criterion for viability. Is  
23 there any way we could sort of, you know, use that as a  
24 threshold kind of condition for projects to be taken  
25 seriously within those criteria?

1           MR. MILLAR: Yeah, so the criteria themselves are  
2 some of those details I mentioned we will be needing to  
3 establish through -- you know, in transparency here is the  
4 key, and putting it bluntly, that the process changes we're  
5 making and the criteria that we use for where we're going  
6 to prioritize, those need to be developed through a public  
7 transparent process, and that's our stakeholder process  
8 that we're embarking on to land on those criteria.

9           You know, immediately upon identifying a  
10 strategic direction, stakeholders raise concerns about open  
11 access principles and competition principles, and those  
12 will need to be respected. And we will need to be pushing,  
13 but what we see needing to do is to push this envelope as  
14 far as possible.

15           So while we're going to be looking for getting  
16 the best possible outcome we can on this, some of those  
17 principles could result in pushback where we don't get  
18 everything we're looking for, but that's not a reason not  
19 to move that direction. So we need to move the ball as far  
20 down the field on this issue as we can and do it through a  
21 public transparent process so that people involve the  
22 generation community.

23           And I should mention that I think there's  
24 significant agreement in the resource community that  
25 changes are made. There's a lot of concern around the

1 specific details and how their particular projects would be  
2 affected, but we've seen a lot of support for moving in  
3 this direction and making these changes.

4           And like I said, the issue for us will be being  
5 fully transparent in what those criteria are, as well as  
6 what the transparent plans are around which those criteria  
7 will be applied. And we've been thinking initially that  
8 the first wave is focusing on the zonal approach around  
9 where the infrastructure is being built, but there will be  
10 other parameters that can be taken into account, as you've  
11 mentioned, financing status and some of these other  
12 conditions that can be layered in.

13           And that's what we have between now, putting it  
14 bluntly, between now and the end of the year to work out so  
15 that we can apply a more rigorous set of principles and  
16 processes for the Cluster 15 projects when we start moving  
17 on processing those projects in early 2024.

18           COMMISSIONER MONAHAN: Great.

19           COMMISSIONER MCALLISTER: Thank you.

20           COMMISSIONER MONAHAN: Well, thank you, Neil, and  
21 thanks to this panel, really helpful discussion. Lots of  
22 good food for thought. And I was actually very sobered by  
23 the presentation by Dana around the number of applications  
24 that just drop out, the fact that like less than 20 percent  
25 actually make it to the finish line is pretty interesting

1 and shows there's some room for improvement in terms of the  
2 process.

3           So we're breaking for lunch now. I'm going to  
4 actually pass it to Heather just for any information you  
5 want to give to folks about when we're convening.

6           MS. RAITT: Yeah, thank you so much.

7           So we're going to close the meeting here, but  
8 we'll be back promptly at 1:45. So sorry for the  
9 inconvenience, but everybody will need to log in again.  
10 And that will, again, we'll start back here at 1:45. Thank  
11 you so much.

12           (Off the record at 1:01 p.m.)

13           (On the record at 1:45 p.m.)

14           MS. RAITT: Alright, well, we'll just give it  
15 another moment for people to log on.

16           So, good afternoon. Welcome back. We're  
17 restarting the workshop on the Clean Energy Interaction --  
18 excuse me, Interconnection of the Bulk Grid. And I'm  
19 Heather Raitt, the Director for the IEPR.

20           Just briefly, the hearing -- the meeting schedule  
21 and the presentations are all available on the IEPR webpage  
22 from the Energy Commission's website.

23           And just a reminder that we are recording the  
24 session this afternoon, as we did this morning, and we'll  
25 have a transcript and a audio recording posted on our

1 website.

2           There will be an opportunity for the public to  
3 make comments at the end of the day. We'll ask one person  
4 per organization, and we'll set two minutes aside for each  
5 person.

6           And alternatively, we always welcome written  
7 comments, and those are due on May 23rd.

8           So, with that, I'll pass it over to Commissioner  
9 Monahan. Thank you.

10           COMMISSIONER MONAHAN: Yeah, thanks Heather.

11           And any fellow members of the dais, if you want  
12 to make remarks, just raise your hand.

13           I'll just state briefly, so the morning session  
14 was really great, densely packed, and the afternoon is also  
15 going to be densely packed, so let's be ready to power  
16 through.

17           The morning was really focused on sort of what's  
18 happening now, sort of the like how the IEPR, the Energy  
19 Policy Report, fits into the CEC's planning world, the  
20 foundational role of transmission and timely  
21 interconnection for meeting our climate and clean energy  
22 goals, and then policy-driven planning and ongoing  
23 improvements, as well as interconnection processes and  
24 ongoing improvements from the side of the utilities,  
25 including both POUs and IOUs.

1           So the afternoon, we're really going to focus.  
2 The beginning is going to be on developer perspectives.  
3 And the second is going to be on sort of recommendations  
4 writ large for improving interconnection, expansion, and  
5 utilization on the bulk side.

6           So I want to see if any of my fellow members of  
7 the dais want to make any opening comments? I'm seeing  
8 nobody, right, so why don't we move right into the panel,  
9 and I'll turn it over -- I think, am I turning over to Ben,  
10 Heather, or --

11           MR. WENDER: Yeah, I'll jump in and just give a  
12 quick welcome to our panelists for sharing development,  
13 developer and association perspectives. I want to  
14 introduce my colleague Rohimah Moly. She goes by Moly, who  
15 is deputy director for climate and energy in the Governor's  
16 Office of Business and Economic Development, or GO-Biz.  
17 Moly will be moderating this session.

18           And I'll let you take it away. Thanks, Moly.

19           MS. MOLY: Thanks, Ben.

20           So good afternoon and welcome back. As many of  
21 you have heard or tune into this morning's session, you  
22 know, the state needs to build and interconnect anywhere  
23 from 6 to 7 to 8 gigawatts per year for the next ten years  
24 to meet expected growth and, you know, our long-term goals.  
25 We heard from representatives from the energy agencies and

1 the utilities about the processes for resource planning,  
2 transmission planning, and interconnection. And as Shannon  
3 mentioned earlier today, there's not a problem in finding  
4 these projects or those who want to build the projects that  
5 we will need, but one of the main challenges is the  
6 transmission capacity for interconnecting new resources to  
7 the grid.

8           As we all know, you know, interconnection issues  
9 is not only, you know, a problem here in California, but  
10 it's an issue across the U.S. And as we explore and  
11 consider ways to improve policies and processes at a more  
12 high level, we are also doing what we can here in  
13 California at the ground level to help ensure that these  
14 projects that are under development currently come online  
15 and on time.

16           So about two years ago, two and a half years ago,  
17 the Tracking Energy Development, TED, Task Force was formed  
18 to track high-priority energy projects expected to come  
19 online within the near term, you know, two, three, four  
20 years, with a priority on contracted projects needed for  
21 summer reliability. It's a collaboration and coordination  
22 between four agencies consisting of the PUC, the CEC,  
23 CAISO, and GO-Biz.

24           So the challenges in the development of large  
25 energy projects range, you know, from siting, permitting,

1 supply chain issues, and interconnection. And TED, you  
2 know, provide project development assistance as  
3 appropriate, you know, related to any of those areas on a  
4 project-by-project basis.

5 Today, we're going to hear from developers'  
6 experience of building large energy projects and the  
7 challenges they've experienced along the way, you know, of  
8 interconnection, related to interconnection, and where they  
9 see opportunities for improvements.

10 So to kick it off, we're going to start with Rick  
11 Umoff, who is the Senior Director and Counsel for the Solar  
12 Energy Industry Association.

13 MR. UMOFF: Thanks, Moly.

14 Hi, everybody. For those who don't know me, my  
15 name is Rick. I'm with SEIA, the Solar Energy Industries  
16 Association, the national association for the solar  
17 industry.

18 I believe I have the slide deck that's coming up  
19 in just a moment.

20 So we represent folks both on the utility scale,  
21 both sides, as well as on the distributed side. As Moly  
22 said, the interconnection challenges are very -- they're  
23 becoming very challenging and complex across the grid, both  
24 on the transmission and distribution grid. So I'm going to  
25 kind of walk through some slides that summarize some of the

1 issues we're seeing, as well as some of the recommendations  
2 that we've taken from our developer members here that are  
3 hopefully helpful.

4           So you can go to the next slide. And the next  
5 slide.

6           So just before I jump in, I just want to say  
7 thanks for having SEIA here to contribute to this and,  
8 also, thank you for the attention on this important issue.  
9 Interconnection really is becoming, is reaching kind of  
10 crisis levels. And as Moly said, this isn't just a  
11 California issue, this is happening around the country, but  
12 it is quite critical in California.

13           We've always had trouble with interconnection,  
14 but it's removing some sort of a headache for developers  
15 and PTOs to kind of a key roadblock to meeting our climate  
16 targets or reliability needs and, frankly, our overall  
17 economic development. I think this even spans beyond our  
18 sector into other sectors of the economy and is really  
19 costing the state a lot at this point, and it's something  
20 that does need really to be addressed.

21           The complexity of the challenge and the kind of  
22 central role that regulated entities, in particular, play  
23 in this challenge I think will require policymakers to  
24 really stay focused and have a kind of a sustained and  
25 coordinated effort on this issue. There's no silver bullet

1 here. And it really does require kind of just a continued  
2 focus and kind of holding the right actors accountable and  
3 just kind of working through this in a stakeholder fashion,  
4 because they're really -- it really just going to require  
5 kind of a collaborative approach to fix this problem over  
6 probably a long period of time.

7 Next slide.

8 So just some key things that I've picked up as  
9 talking with developers and we hear a lot. One is the  
10 shortage of staffing and resources to address  
11 interconnection. And this is, you know, something that,  
12 you know, we really think needs attention. We think the  
13 PTOs and utilities need more staffing. We also think there  
14 needs to be more staffing on the policymaker and side as  
15 well. We need to staff up for this issue, and it's  
16 something that I think we're all kind of struggling with in  
17 this space right now, but definitely it's hard to get this  
18 done if we don't have the resources.

19 We continue to hear concerns about transparency  
20 and information flow in terms of timelines and in terms of  
21 upgrades and prioritization of upgrades. There continue to  
22 be struggles with the cost of network upgrades and then the  
23 impact that those costs have on the interconnection queues  
24 and folks dropping out of the queues.

25 We are dealing with, frankly, a lack of planning

1 in this area for some time or a lack of -- at least of a  
2 lack of action there sometimes, they're all playing catch-  
3 up on. That relates both to the transmission and, you  
4 know, network upgrade issue, but also in terms of  
5 procurement, kind of catching up on procurement, which now  
6 has led to, you know, a significant kind of build-up in the  
7 queue. So that is kind of part of what's causing this  
8 crunch.

9           And then the deliverability availability  
10 throughout the system is really a struggle. There's really  
11 just not that much available deliverability, and these days  
12 if you're not deliverable, it's hard to really make a deal  
13 work in the California market.

14           Next slide.

15           So in terms of the delays, and these slides are  
16 on the record or have been submitted, so folks can look at  
17 them in more detail, but in terms of delays and lack of  
18 transparency, I mean, we continue to hear about significant  
19 delays in just getting upgrades started. And then, also,  
20 once upgrades are starting, the multiyear timeframes are  
21 actually completing those upgrades. And, you know, this  
22 isn't to point the finger at any one entity or anything  
23 like that. This is just, this is what we're hearing.

24           And we also continue to hear that there's really  
25 still a struggle in terms of understanding sort of the

1 prioritization of upgrades. And that makes it difficult  
2 for developers to plan, and it makes it just a difficult  
3 place to do business as a developer. And of course that  
4 leads to just interconnection delays in general, sort of  
5 bringing resources online.

6           So in terms of recommendations here on this  
7 issue -- oh geez, that looks like I need to get moving --  
8 we have, you know, more transparency, and also looking at  
9 incentives and penalty options for PTOs.

10           Next slide.

11           The next is timelines. You know, we're  
12 continuing to struggle with just really long timelines, and  
13 we're seeing just as, you know, each cluster tends to be at  
14 more and more applications, and so we're going to continue  
15 to have these issues. You know, the recommendation here  
16 are staffing, education, continued workforce development,  
17 leveraging new technology that can help make us more  
18 efficient. We think that, you know, having things like  
19 cloud computing and big data could help with this as well.  
20 So trying to get a little more creative in how we get more  
21 efficient in this area.

22           Next slide.

23           The network upgrade costs continue to be a  
24 challenge. And what happens is, as folks run into these  
25 network upgrade cost, developers that is, they drop out of

1 the queues, and then that leads to delays, and then the  
2 network upgrade costs end up showing up in subsequent  
3 cycles.

4           So we really think, to the extent that we can  
5 identify repeatedly, you know, repeatedly identified  
6 network upgrades that are needed should be prioritized and  
7 addressed. And maybe we should look at cost-sharing  
8 options as part of that to help identify and address,  
9 especially, the DNU's where deliverability can be made  
10 available.

11           Next slide.

12           You know, there's just not enough transmission, I  
13 think, is basically the message here. And what we do  
14 appreciate is that there's been a recognition by the state  
15 and state policymakers that we need to start getting moving  
16 on this, but we have a long ways to go, so we're going to.  
17 You know, we really just need to be digging in here,  
18 accelerating milestones to the extent possible, looking at  
19 other avenues, looking at economic-driven projects, and  
20 also looking at grid enhancing technologies, like storage  
21 and transmission resource, as a way to address this.

22           Next slide.

23           And the last item, quickly, is something that I  
24 think a later panel is going to talk about, but just  
25 increasing available deliverability on the existing system,

1 we think, is also important.

2 So I think that's my time, and I'll hand it off.

3 Thank you.

4 MR. WENDER: I think you're muted, Moly.

5 MS. MOLY: I'm sorry.

6 So next up, we have Sergio Duenas with the CESA,  
7 the Energy Storage Alliance.

8 MR. DUENAS: Hi. Good afternoon. I'm Sergio  
9 Duenas. I am Policy Manager for the California Energy  
10 Storage Alliance. We are a membership-based advocacy group  
11 representing over 100 companies in the energy storage  
12 ecosystem in regulatory venues in California and federally  
13 needed. I am not using slides today. I just prepared some  
14 remarks.

15 I think that the conversations around  
16 interconnection recently have been very fruitful, and it's  
17 good to see so many of the key stakeholders come together  
18 to try and solve the issues that we're facing. So far,  
19 much of the discussion at the ISO and other venues has been  
20 focused on reducing the backlog by setting strict criteria  
21 and high costs in order to minimize what some have called  
22 speculative requests. CESA believes that while this might  
23 seem like immediate and attainable fixes, they do not  
24 address the fact that given California's ambitious goals  
25 and the proliferation of incentives for zero carbon

1 resources, large queues will continue to be the norm for  
2 the foreseeable future across the U.S., not just in  
3 California.

4           So as the ISO and other agencies and regulators  
5 embark on policymaking, goals and principles of any  
6 interconnection and enhancement should be set and upheld.

7           First, we think that this should include the  
8 principles of open access and non-discrimination. There  
9 should be alignment in planning processes, respect for  
10 technologies and reflection of these technologies and  
11 resource capabilities, and reasonably reducing the queue of  
12 requests by advanced viability in appropriate ways, overall  
13 having more information and data readily available and in  
14 sufficient granular accuracy that will support economic  
15 decision-making for all parties involved in the  
16 interconnection process.

17           This being said, the agencies should resist blunt  
18 proposals that set punitive costs of entry just for  
19 screening out projects. Certain refinements to commercial  
20 viability should be considered, but we really should be  
21 cognizant that these costs are being passed on to  
22 ratepayers and that the costs associated with, for example,  
23 long lead time projects create some issues around the  
24 chicken or egg challenge of LSE procurement and  
25 interconnection study for the costs.

1           So alignment in planning processes is definitely  
2 important, but with all that we should not violate the  
3 principles that I've described above. So some of our  
4 recommendations that we urge the ISO and the present  
5 agencies to consider to ensure more agile processing of  
6 interconnection requests are three, three key near-term  
7 recommendations.

8           First, the ISO and the relevant agencies should  
9 develop means to incentivize PTO performance. There should  
10 be concrete timelines for the construction of upgrades and  
11 facilities and clear rules as to how to communicate delays  
12 and justify them.

13           Second, the ISO and the PTO should seek to  
14 leverage third-party consultants and engineers in a timely  
15 manner to guarantee completion of needed studies. This  
16 should include automating some parts of the interconnection  
17 process, for example, documenting if interconnections  
18 requests are complete and validating them.

19           And third, the ISO and the CPUC should also  
20 explore ways in which energy-only resources could meet  
21 interim or bridge needs, particularly when considering  
22 emergency reliability, as we've seen in the last two years.

23           Finally, CESA also supports the ISO reevaluating  
24 deliverability methodologies. This is a fundamental issue  
25 that could really free up significant amounts of

1 deliverability in the system today.

2           First, to increase the amount of deliverability  
3 available, the ISO should modify their overly conservative  
4 assumptions regarding the output of energy storage in their  
5 secondary system need assessments. We know that the ISO  
6 has recently revised this. They've modified the storage  
7 output assumption in the SSN from 100 percent to 50  
8 percent. That is great, but this is still overly  
9 conservative.

10           So the issue here really that is critical is that  
11 the input should be reassessed because the ISO is assuming  
12 a fixed deterministic profile for storage that is not  
13 really reflective of the complementary nature of storage  
14 and renewables.

15           Second, the ISO should explore reassessing the  
16 inclusion of N-2 constraints when evaluating for the  
17 deliverability, since this is also an overly conservative  
18 assumption that is not followed in other RTOs or ISOs.

19           Why does this matter? Why is this as critical  
20 for interconnection as other proposals?

21           Well, this is because the draft 2022-2023  
22 Transmission Plan is very, you know, historic in its  
23 magnitude. And it's very smart that it's given important  
24 lead times for the construction of this project. But  
25 limited transmission deliverability today is jeopardizing

1 reliability in the near term. So these fixes are  
2 fundamental for unlocking additional deliverability and  
3 ensuring reliability moving forward.

4           Finally, we do urge the ISO to consider  
5 developing methodologies to determine if resources are  
6 deliverable within local reliability areas that they are  
7 located in. This is very important because today we're  
8 only looking at deliverability in a systemwide basis, and  
9 that may negate the benefits or reliability benefits of an  
10 asset in the Greater Bay Area, for example, that is  
11 deliverable in that LRA but may not be deliverable in the  
12 broader CAISO system.

13           So those are our recommendations, both near term  
14 for the processing of interconnection requests, and also  
15 for the deliverability challenges that the state is facing.

16           Thank you for the time.

17           MS. MOLY: Thanks Sergio.

18           So next up we have Nancy Rader, who is the  
19 Executive Director at the California Wind Energy  
20 Association.

21           MS. RADER: Great. Good afternoon everybody.

22           First, thank you very much for inviting me to  
23 this panel. I'm really glad to have a chance to present on  
24 a very promising, if arcane, topic that Sergio was just  
25 discussing, which is the CAISO's deliverability study

1 methodology. I'm going to do a little deeper dive here and  
2 explain how performing that methodology could really  
3 accelerate generator interconnections and make more  
4 efficient use of our existing grid and every additional  
5 transmission project that we build.

6 Next slide please.

7 So although we didn't hear much about it this  
8 morning, CalWEA is thrilled that CAISO has announced an  
9 initiative to review its deliverability study methodology,  
10 which should begin later this month.

11 Now CAISO uses this methodology to determine what  
12 reliability upgrades are needed for an interconnection  
13 customer to obtain deliverability capacity, also known as  
14 TPD capacity, which is what generators need to qualify  
15 under the PUC's RA Program, Resource Adequacy program. And  
16 the point of the methodology is to ensure that a project  
17 will be able to deliver its generation to load when it's  
18 needed. The prospect of reforming this methodology is  
19 exciting because it could immediately address the current  
20 lack of available TPD capacity.

21 Next slide.

22 And this, as Rick and Sergio indicated, we  
23 believe lack of TPD capacity is a big problem. Without it,  
24 projects can't qualify for RA and generally won't be  
25 commercially viable. And from our view, available TPD

1 capacity appears to be insufficient to meet the state's  
2 mid-decade and certainly our longer term SB 100 goals, and  
3 that will remain the case until new transmission is planned  
4 and built and that's about ten years off, absent major  
5 reforms to the process, which we'd also like to see.

6 Now this morning Neil Millar said that he thinks  
7 there's about 5 to 6 gigawatts available on the system now  
8 without upgrades being needed, but the PUC's 2026 goals and  
9 11.5 gigawatts, and also that 5 to 6 gigawatts may not be  
10 in areas that are viable for project development.

11 We are finding that many developers who are  
12 counting on obtaining TPD capacity, many with PPAs, are  
13 discovering that it's just simply not available. Load  
14 serving entities, including CalCCA, have recently  
15 highlighted that there is already a lack of RA capacity in  
16 the market presently. Now even if there is barely enough  
17 TPD capacity, the lack of a margin will reduce competition  
18 and drive costs up.

19 Next slide.

20 But there is really good news, which is that the  
21 TPD capacity is a function of the assumptions used in the  
22 CAISO's deliverability study methodology. In our view,  
23 those assumptions are unnecessarily conservative. And  
24 reforming those assumptions consistent with those used by  
25 PJM and MISO could dramatically expand TPD capacity, and

1 that capacity would immediately become available at no  
2 cost. And in addition, ratepayers will save because of the  
3 enhanced competition. So we really might have a big free  
4 lunch here.

5 Next.

6 So I wanted just to go through the four reforms  
7 that we have proposed to the CAISO and consistent with what  
8 Sergio just outlined.

9 So CAISO performs two tests and we believe we can  
10 eliminate one of them and that's the SSN test which looks  
11 at high growth system load not at the critical evening net  
12 peak period. Now this test is designed to study generator  
13 curtailment, not the ability to meet load which is the  
14 point of the deliverability study. No other ISO uses an  
15 SSN test.

16 We really don't need this test because  
17 curtailment is a commercial concern that we believe will  
18 resolve actually with methodology reform and that's because  
19 right now a lot of storage is being blocked because they  
20 can't get TPD capacity. So once we reform this methodology  
21 it'll allow all the storage to be built in high congestion  
22 areas to deal with that curtailment. And if not, you know,  
23 we can look at economic upgrades.

24 Also, by the way, eliminating this study will  
25 reduce CAISO study workload.

1           Next slide.

2           So the second reform is to adopt reasonable  
3 dispatch assumptions in the HSN test, and that's the test  
4 that looks at the evening net peak. The CAISO doesn't use  
5 the PUC's qualifying capacity values in its studies.  
6 Instead, it uses its own capacity values which tend to be  
7 higher and that requires more TPD capacity.

8           Now I forgot to note on the slide that CAISO also  
9 assumes that storage and solar are being dispatched  
10 simultaneously, despite the expectation that solar will be  
11 charging storage.

12           In addition to constraining TPD capacity this  
13 methodology is also opaque which, by the way, creates  
14 commercial problems as well.

15           Next slide.

16           So Sergio also mentioned that we could create a  
17 local deliverability designation. The current  
18 deliverability methodology requires that resources that are  
19 inside a locally-constrained area must deliver to another  
20 such area, such as San Francisco to L.A. But we really  
21 should rethink that requirement that local resources meet a  
22 system RA test. If we had a local test, it would allow  
23 local resources to address local concerns and we think  
24 CAISO can readily establish that kind of test.

25           Next slide.

1           So the fourth reform is that the current  
2 methodology as Sergio also mentioned assumes an N-2  
3 condition. That means that two major grid elements are  
4 down but instead we could assume an N-1 operating condition  
5 that just one major grid element is down. Now this is not  
6 a NERC issue, North American Electric Reliability  
7 Corporation, I think it is. They have no requirements for  
8 deliverability studies at all. No other ISO uses an N-2  
9 criterion in its deliverability studies.

10           Now the effect of using that extreme assumption  
11 is that it blocks the use of available transmission  
12 capacity that we need to meet very high stress conditions  
13 like the recent heat waves that we've experienced. So even  
14 if generators may not be able to deliver during very rare  
15 grid conditions, they can still and they should be allowed  
16 to get on the grid to address those high stress conditions  
17 we have recently experienced in the last couple years.

18           Next slide, and this is almost done, but it's  
19 really important to appreciate how important these reforms  
20 are.

21           In our estimation, reform could free up more than  
22 10 gigawatts of TPD capacity immediately across the CAISO  
23 system in areas of the grid that are strong. And it's  
24 important to say, you know, it doesn't help in places like  
25 in northwest California where the grid is weak. But in

1 areas where the grid is strong we can add a lot of TPD  
2 capacity. That will mitigate if not eliminate the near-  
3 term TPD shortages that we believe we're facing now. And  
4 we can also maximize TPD capacity from each new upgrade  
5 that we build and that will reduce the total amount of  
6 upgrades that we're going to need to meet our goals and, of  
7 course, that brings a lot of savings. And it will also  
8 give PTO some breathing room to complete their delayed  
9 upgrades.

10 Okay next and last slide.

11 So we're really looking forward to discussing  
12 these issues in CAISO's upcoming stakeholder process and  
13 are really pleased that CAISO has created this forum.

14 Thank you.

15 MS. MOLY: Thanks Nancy.

16 So next up we have Jess Melin with NextEra Energy  
17 Resources.

18 MR. MELIN: Hey everybody. It's great to be here  
19 and thanks for the time today. I don't think I'm going to  
20 bring a whole lot of new stuff. I think everything that  
21 I've been thinking about for the last few years in  
22 California has been covered today but I would like to kind  
23 of zoom out at the 30,000-foot level and just remind  
24 everybody of the process. Sometimes you can't see the  
25 forest for the trees.

1           So as developers, right, there's a few things we  
2 have to do to get projects built. One is, you know, we  
3 have to get permission to interconnect to the larger  
4 system, and that's the application, key process studies,  
5 deposits, all of that stuff. Once we have permission to  
6 connect to the grid, we need to go out and order pieces and  
7 parts. The transmission owners need to go out and order  
8 pieces and parts so that we can actually physically build  
9 that infrastructure.

10           And then throughout that whole process there's  
11 this big human element; right? It takes a lot of humans to  
12 do all the, you know, construction of the project,  
13 manufacturing the pieces, interconnection requirements. We  
14 have a lot of Commissioning paperwork processes so there's  
15 a huge, huge human element that I don't think will ever  
16 really go away there.

17           And so I'll talk about the challenges and a few  
18 solutions on those three main pieces that I pointed out.

19           So in the interconnection process, as Shannon  
20 laid out, you know, Cluster 15 came in, you know, very  
21 large at 354 gigawatts. And it was mentioned before, we  
22 need to build 86 gigawatts. And then Neil pointed out we  
23 already have a 180 gigawatts in the existing queue. And so  
24 if you think about that, if we're going to build 86  
25 gigawatts, that's 448 gigawatts of projects that we're

1 studying that are being put into the models that won't get  
2 built. And you know that you all know that uses a lot of  
3 resources and bandwidth.

4 And what that what that turns into for us on the  
5 development side is very long delays to find out if you can  
6 even interconnect a project. And then it becomes a chicken  
7 in the egg, do I spend the money or do I wait to be  
8 interconnected?

9 You know, one case in point, at Next Era, we put  
10 in a lot of queue positions. We put one in the Cluster 14  
11 two years ago. So two years later, we find out that the  
12 earliest we can connect that project to the grid is 2034,  
13 and it's going to be one more year before we know the  
14 actual cost of that project. And so I won't even get into  
15 the deliverability that Nancy discovered, because that's a  
16 whole other issues. If you don't have that, you can't get  
17 a contract.

18 So at this point, it's taken three years to find  
19 out, can I connect and how much is it going to cost? And  
20 then it's 11 years before I could interconnect that  
21 project. And I'll tell you right now, you know, there's  
22 nobody in the market that is out there signing contracts  
23 for 11 years from today. There's high demand right now.  
24 But the interconnections are showing up viable in a decade.  
25 So there's a huge disconnect there.

1           I think everybody knows our business, like all  
2 business, likes to wake up in the morning, have a great big  
3 bowl of certainty for breakfast. And that's the big piece  
4 that's missing in this process. There's just a lot of  
5 uncertainty. And it really throws the business process for  
6 a loop.

7           Solutions-wise, obviously, you know, one of the  
8 first things that comes to mind is, you know, is there a  
9 way to have a meaningful distinction between speculative  
10 projects and viable projects? We, like others, you know,  
11 submit multiple positions for a single project. You have a  
12 lot of reasons for that. One, you have the seven-year  
13 timeline, you don't want to time out. There's uncertainty  
14 around deliverability. The study process is a bit of a  
15 black box. You submit and then you hope for a year, and  
16 then you get the results back. You know, we've tried to do  
17 our own studies, but we don't have the information that,  
18 you know, the CAISO and everybody else does. And so it's  
19 kind of a black box.

20           So is there a way to -- you know, there's a lot  
21 of ways that we can, you know, make more viable projects  
22 float to the top and we've discussed those, you know,  
23 permitting standards, maybe having to have a PPA, larger  
24 deposits, clustering requests, stuff like that.

25           But Sergio brings up a great point; right? Is

1 there a problem with a big queue? Maybe it's fine to have  
2 a big queue. I think the problem is having a large  
3 stagnant queue. Could it be possible to have a large  
4 efficient queue; right? And a couple ideas around that  
5 are, should each project get a free off ramp at some point?

6 I know a lot of developers hang on to their queue  
7 position because they don't want to lose the, you know,  
8 they don't want to lose the deposit, even if the project  
9 isn't going well in hopes that maybe they could sell that  
10 queue position to somebody else. So there's a lot of  
11 people who are in the queue that probably don't plan on  
12 building the project, but they're remaining in the queue to  
13 try to have that economic viability.

14 And then, you know, when we find out the earliest  
15 online date is 11 years from now, there's a reason for  
16 that; right? So there are some upgrades that are needed.  
17 And the immediate question is: Do we need to wait 11 years  
18 to finish those upgrades? Can they be done now or in three  
19 years, maybe even five years?

20 We see some major network upgrades that just  
21 repeatedly come up as reasons that we can't connect  
22 projects. And so I think, you know, if you look through  
23 the historical records, you'd find there's a couple of key  
24 network upgrades that we shouldn't be talking about. We  
25 should be out there building.

1           And then obviously, you know, is there a way to  
2 leverage technology to speed up the process? A lot of talk  
3 around AI. I know our company is doing a lot on the FPL  
4 side with AI.

5           I heard that SPP is actually working with Amazon  
6 Web Services, trying to do some cloud computing, see if  
7 they could speed up their queue. You know, this has  
8 potential to shorten the study process from years to  
9 possibly even months. And I think that's in everyone's  
10 interest. Even if you had a large queue, if it was an  
11 efficient queue, then developers should get in and get out  
12 and not sit in a stagnant queue; right? A faster process  
13 would reduce the speculative projects. And the project  
14 pipelines, I think, would more closely align with market  
15 demand.

16           Then we come to supply chain. This one's  
17 interesting because there's a lot of issues that crept up  
18 on us in the last couple of years. You know, manufacturing  
19 capacity reductions due to workforce issues around the  
20 world, increased costs of commodities and shipping,  
21 geopolitical challenges like UFOPA (phonetic). We couldn't  
22 even get solar panels into the ports this year, so that  
23 caused a lot of issues.

24           But on the interconnection side, I think we're  
25 seeing a bit of panic buying mentality; right? Utility

1 leaders are saying, hey, did you hear there's long lead  
2 times in meters and breakers? Maybe we should go put in a  
3 big order so we can get those in time for our next project.  
4 And then the next week, surprise, right, the lead time is  
5 longer for meters and breakers because somebody put in a  
6 big order.

7           So I don't really have much of a solution on that  
8 one. I think that just needs to be in everybody's  
9 equation. When you're running through your schedule, you  
10 have to plan for some slowdown when it comes to supply  
11 chain; right? We need more mechanization. We need more  
12 stable international relations, domestic. There's a lot of  
13 talk about domestic supply, which I think will help. It's  
14 a long way off and, you know, there will be a cost  
15 implication to that.

16           And then that human element I talked about. You  
17 know, after the IRA, especially, we need vastly more  
18 qualified and trained individuals in our company, in your  
19 company, throughout this industry. And, you know, there's  
20 that old saying, the best time to plant a tree was 20 years  
21 ago, and the second best time to plant a tree is today.  
22 And I think that holds true here.

23           I know the development world is hiring very, very  
24 quickly. That 354 gigawatts that we keep talking about,  
25 right, that's 350, you know, that's -- I don't know how

1 many projects that is, but that's a lot of projects. And  
2 behind each project, there's a developer, and those  
3 developers can be making phone calls to the transmission  
4 owners and trying to get their project through.

5 And so I think the only solution there is simple,  
6 but not easy, which is we all have to hire more people, and  
7 we have to hire them right now. You know, I went out and  
8 did the math, and it still takes 365 days to get one year  
9 of experience in this industry. So the longer we wait to  
10 hire, the worse it's going to be.

11 So I'd be happy to answer any questions around  
12 what we're seeing as developers, but thanks for the time.

13 MS. MOLY: Thanks Jess.

14 Can the panelists turn on your cameras so we can  
15 start the discussion?

16 So I know you guys went through a lot of, like,  
17 here are solutions -- (Zoom background noise.) Excuse me?  
18 Okay.

19 You know, you guys work across, not just in  
20 California, but in other states, projects in other states  
21 as well. Are there things that you see in other states  
22 that California -- that you would recommend or suggest that  
23 California look into to help accelerate some of these  
24 projects that we have, you know, in the queue, or can help  
25 accelerate project development?

1 Nancy?

2 MS. RADER: Yeah. I guess, well, first, I'm just  
3 going to reiterate that the two other ISOs I mentioned, PGM  
4 and MISO, have a much, I think, more efficient way to  
5 address deliverability.

6 And the second one is that I think many other  
7 states don't have such a duplicative process for  
8 determining the need for new transmission. I know Shannon  
9 touched on this this morning, but I just want to emphasize  
10 that the CAISO's proposed transmission projects are based  
11 on the PUC's adopted IRP portfolios. So the fact that PUC  
12 then spends one to three years reevaluating that need  
13 doesn't really make any sense. And one of the most  
14 impactful things we could do is simply not to revisit that  
15 need determination. There's two bills in the legislature  
16 that are aimed at doing that. I think they can be  
17 strengthened, but I think this is something we need to do.

18 Thank you.

19 MR. MELIN: Yeah, I could speak up on that as  
20 well, Moly.

21 You know, so it's interesting, I've seen across  
22 the nation working, you know, in different ISOs, and they  
23 all follow the same path at different times. And that is,  
24 something will happen in the market, and the renewable  
25 industry will finally come to town. And when that happens,

1 the word gets out very quickly. And the renewable industry  
2 quickly overloads the existing queue process. We saw it  
3 happen at PacificCorp, we saw it happen at MISO, and  
4 everyone approaches it a bit differently. Some people just  
5 freeze up and say, no more, that's it. I think, you know,  
6 I think that's one viable solution. We saw IID today say,  
7 hey, we've closed our queue. You know, give us some time  
8 to figure out and to rework how we're going to study this  
9 stuff.

10 I think one thing is communication across the  
11 regions, across the nation. It is a national problem. We  
12 all use, basically, the same pieces of parts and we create  
13 energy basically the same way, and we transmit it and  
14 consume it essentially the same way. I just think there  
15 needs to be a lot more communication, you know, across  
16 the -- without, you know, asking the feds to step in,  
17 because that would probably slow it down. But it's not a  
18 it's not a CAISO problem. I think it's a problem that  
19 happened in every ISO.

20 And choosing best practices, and then really that  
21 technology piece. It's very complex and there's a massive  
22 amount of information that needs to be studied to do this  
23 correctly. And I just think we have to start leveraging,  
24 you know, computing power and AI to start doing it more  
25 efficiently.

1 MS. MOLY: There were a couple of  
2 recommendations, I think, that came up from Sergio and Rick  
3 about transparency with the timelines and with the PTOs, in  
4 addition to either incentives or mechanisms to ensure that  
5 those timelines are met. Can you guys expand on that a  
6 little bit more, and how you see that may work or, in your  
7 experience, why is that, I guess? How did you come to that  
8 conclusion as a recommendation?

9 MR. DUENAS: Yeah. I guess --

10 MR. UMOFF: Sure. Go ahead, Sergio. I'll  
11 follow.

12 MR. DUENAS: Yeah, just to add really quickly to  
13 that comment, I think something that we've seen that has  
14 worked and that is definitely beneficial and would like to  
15 see more of that is, for example, this quarterly  
16 transmission development forum meetings that the ISO has  
17 been hosting. That is definitely useful. You know, at  
18 times, we get very little additional context than the  
19 materials that are shared ahead of the call, but that's  
20 better than what we had before that was just notices of  
21 delays, if any.

22 I think it's important that we sort of think in a  
23 more innovative way, how do we actually incentivize  
24 performance? How do we make it so that either through  
25 positive or usually negative incentives, we get it so that

1 PTOs can find a timeline, at least, you know, propose that  
2 timeline, put it forth and seek to stick to it?

3           Communicating, like in the TDF, that's been very  
4 useful. Perhaps if there were, you know, like a circular  
5 rather than just like the quarterly meetings but, you know,  
6 a monthly memo of where projects are at, what's the cause  
7 of delays, that would be useful as well.

8           And, you know, as Jess said, everyone is sort of  
9 using the same equipment, doing the same thing all over.  
10 Having that information out there would be useful.

11           MR. UMOFF: Yeah, I agree with all that. I mean,  
12 I think one thing we hear a lot is better understanding the  
13 prioritization of upgrades. And also this point about sort  
14 of identifying needs that reappear, you know, cycle by  
15 cycle, I think that's also an area that we could get maybe  
16 some more efficiency, we could hone in on those.

17           And also, you know, I think from our perspective,  
18 you know, not to pick on the PTOs too much here, but if,  
19 you know, if there's a real problem with bandwidth, with  
20 resources, with human resources, capital, whatever that  
21 problem is, we kind of as a state need to know so we can  
22 deal with it.

23           And I think one of the challenges that we have is  
24 like the transparency and understanding like where are  
25 the -- what is causing some of these delays and what

1 is -- where are the bottlenecks? And I think we understand  
2 that's maybe a sensitive topic to kind of talk about  
3 openly. But, you know, if they can't get it done, you  
4 know, something else maybe needs to be done to make sure  
5 that can happen because, you know, this is now central.  
6 This interconnection issue is central to us meeting our  
7 climate targets, our reliability, our economic development.  
8 We've got, you know, what, half a dozen bills in the  
9 legislature right now focused on this issue at the  
10 distribution and transmission level.

11 And so, you know, sort of bandwidth constraints  
12 or, you know, we don't have the time or we're focused on  
13 other things, those kinds of, frankly, excuses just aren't  
14 going to cut it. We need to, we need to push through that.  
15 So you know, we need real continued attention from  
16 regulators and policymakers on this issue.

17 And we also, you know, need to have some honest  
18 conversations about what the limits are. And if that means  
19 we have to have some real creative solutions to breaking  
20 through some of these roadblocks, then that's -- maybe  
21 that's what has to happen because it's -- you know, they're  
22 too central to the success of this project at this point of  
23 decarbonization and really what is like central to our  
24 economy at this point.

25 MS. MOLY: At this point, I'm going to turn it to

1 Commissioner Monahan to see if she has questions, and the  
2 other Commissioners on the dais?

3 COMMISSIONER MONAHAN: Yeah, I ask everybody --  
4 well, it seems like everybody's on video.

5 So I'm going to pass it to Elliot, the President  
6 of CAISO, for the kickoff questions and comments.

7 PRESIDENT MAINZER: Thank you, Commissioner  
8 Monahan.

9 So first of all, I wanted to really thank the  
10 panelists. You know, you guys, particularly folks on the  
11 developer side, I think it's always really, really valuable  
12 to listen to your perspectives because you're sort of  
13 living at that granular level and having to work your way  
14 through the processes and I understand and can relate to  
15 some of those frustrations. So thanks for the perspective  
16 and we really are looking forward to continuing working  
17 with you.

18 Just a couple of observations, and I also wanted  
19 to ask Neil, so first of all, you know, I think it's really  
20 important, maybe stepping back and remembering the big  
21 picture. You know, I've been around interconnection,  
22 queuing, planning issues for a long time. And I guess the  
23 basic conclusion that we've come to at the CAISO, and I  
24 actually think FERC is coming to, is that, you know,  
25 queuing is in some ways, it's sort of a symptom of a

1 different problem; right?

2 I think the solution that we're really trying to  
3 solve here is to do really outstanding, proactive,  
4 integrated power and transmission planning; right? We  
5 really have to have that forward. Look, we've got to. You  
6 know, transmission is such a long lead time infrastructure.  
7 You've got to work super closely with your state agencies  
8 and your utilities.

9 And, look, there's good information in the queue  
10 that can be -- that can inform your transmission planning.  
11 But at the end of the day, you've got to come out with a  
12 plan. You got to stick with it. And transmission planning  
13 needs to be, to need to be a leading indicator, not a  
14 lagging indicator. You can't be reacting to queues.

15 And so the first and foremost thing, we really  
16 through the 20-year outlook, and now through our zone  
17 Transmission Plan, really trying to give you guys that  
18 longer term look of certainty around where the  
19 infrastructure is today, where the infrastructure is going  
20 to be, and that's where you need to queue up because that's  
21 going to be where the transmission is going; right? That's  
22 the highway we're building.

23 And I want to, again, sanction that issue. You  
24 know, we want to work as closely as we possibly can with  
25 the PAC and the CDC and others. And we're going to do

1 everything we can as a transmission planning entity to come  
2 out with the best, smartest, least cost Transmission Plan.

3 But yeah, that then spending several years, you  
4 know, re-questioning it again, that, that is a source of  
5 frustration. So I appreciate some, some energy around that  
6 while also recognizing the importance of checks and  
7 balances and transparency.

8 On the deliverability of showing a trend, and I  
9 want to thank Nancy, you know, she's been a really strong  
10 advocate for this issue. And I know, you know, we all want  
11 to try to make sure we're making the very, very best use of  
12 our existing transmission capacity. And we definitely have  
13 opened up another round of conversation around that and  
14 we're looking forward to that discussion.

15 I thought it would be just useful just to take a  
16 minute or two for Neil, just to talk a little bit about the  
17 lens with which he's viewing that, because the way it's  
18 always been articulated to me, it's this balance between  
19 really leaning in, being willing to examine your  
20 methodology, second guess your -- you know, question your  
21 assumptions, but at the same time also trying to be really  
22 transparent and honest with people about when you get to  
23 the edge of reliability concerns.

24 So Neil, if you could just talk to that briefly  
25 and then we can open up some other questions?

1 I appreciate you guys raising it. It's an  
2 important issue.

3 MR. MILLAR: Sure, I'd be happy to, Elliot.

4 So, yes, there are a number of issues here where  
5 as time and fleet has evolved, we do see some opportunities  
6 to explore. We have, as Nancy indicated, we have announced  
7 that we're intending to move forward with a stakeholder  
8 process revisiting the entire deliverability methodology  
9 approach.

10 You know, I do need to remind people that the  
11 purpose of the deliverability process is to ensure that  
12 we're reasonably comfortable with resources that are  
13 qualifying for resource adequacy compensation can be called  
14 upon at times of peak system stress. That's the purpose.  
15 It wasn't designed as a barrier to getting generation,  
16 getting them contracts and getting them moving forward.  
17 And our goal here is to ensure that we can get the maximum  
18 amount of generation reliably connected that can meet  
19 those, that reasonable need.

20 So we are launching this process. We have seen  
21 opportunities that we want to pursue, as well, to explore.  
22 We also see some areas that are going to open up a much  
23 bigger industry dialogue about the concept of having local  
24 resource adequacy resources that are not also qualifying  
25 for system resource adequacy. Is that something the state

1 really wants to get into where there's an assumption that  
2 your system peak and your local peak will never coincide?  
3 So that's an area that needs some bigger discussions. It's  
4 not just an ISO methodology issue.

5           And then there are also some areas where we  
6 clearly see that additional education on our methodology is  
7 required, because I am concerned that some of the comments  
8 I've heard, especially the idea that we've actually been  
9 building transmission into the greater Bay area to make  
10 batteries in the L.A. Basin deliverable, but that there are  
11 some severe misunderstandings that we need to have a bigger  
12 discussion about. So we think the stakeholder process will  
13 enable us to get into all of those issues, and then also  
14 identify which are the ones that actually are more the  
15 genesis of a bigger policy discussion than perhaps a pure  
16 technical methodology review.

17           So I hope that just kind of puts it out there  
18 that we're certainly up for this discussion and looking at  
19 doing everything we can to facilitate getting as much  
20 resources reliably connected that can also be counted on to  
21 meet the purpose that we're, we're bringing them on the  
22 system for. So I hope that helps.

23           Thanks.

24           PRESIDENT MAINZER: Yeah. So thank you,  
25 Commissioner Monahan. I want to make sure the other

1 members of the dais have some opportunities for some  
2 questions and comments.

3 COMMISSIONER MONAHAN: Can I ask if any other  
4 members have questions or comments, just raise your hand.  
5 I don't see any quite yet, so I'm going to -- oh, Vice  
6 Chair Gunda.

7 VICE CHAIR GUNDA: Yeah. Thank you Commissioner  
8 Monahan. And thanks to everybody for the discussion.

9 I think I just wanted to ask a question around,  
10 as Neil kind of just mentioned, we are going to continue to  
11 evolve some of the processes and I think, you know, the  
12 problem statements that most of you raised.

13 I wanted to specifically hone in on, Rick, your  
14 comments on, you know, kind of the resources needed for  
15 getting some of the studies done.

16 And I think Jess, you pointed out a, you know,  
17 potential for using automation tools for the studies to be  
18 done. I just wanted to ask if there are any examples of  
19 that? I don't. You know, haven't heard them. I mean,  
20 this is a discussion we actually had with the IOUs on  
21 potential in automation tools for, you know, accelerating  
22 the studies, if you can comment on that, that'd be great.

23 MR. UMOFF: So I'll say, I don't have any  
24 specific recommendations at the moment, but I, definitely,  
25 I will follow up with some of those ideas. This is

1 something that has been sort of bubbling up in our  
2 conversations with companies. They've kind of been saying,  
3 why can't some of this be more automated? It seems like  
4 that is, we have a lot of pretty advanced technology tools  
5 these days and companies that process lots of data, it  
6 seems like we should be able to apply those tools here.  
7 But it's not, it's not something we've like really dug  
8 into. But I definitely wanted to put it on the table as  
9 something to be thinking about.

10 I don't know, Jess, if you've given any thought  
11 to any specific, you know, application.

12 MR. MELIN: No, I just have hired a lot of people  
13 that recently got their MBA and can't tell me they didn't  
14 use chat GPT to write some of their papers; right?

15 So the only specific example I know is working  
16 with Amazon cloud, but it's a bit, again, it's a bit of a  
17 black box. We submit our requests. It's dark for a year  
18 and we get an answer out. And I'm not an expert on what  
19 happens for that full year. I'm sure it's a lot of very  
20 complex iterations, but it seems like in today's world, we  
21 have to be able to do that faster. And I don't know if we  
22 open that up and let people see into the box and have  
23 ideas. I think, you know, ultimately, you know, a group of  
24 20 is going to have better ideas than a group of one.

25 But what is that? What happens during that year?

1 And is there ways to make it happen more efficiently and  
2 more quickly with the technology we have today? I have to  
3 think the answer is yes, but I couldn't point to a specific  
4 without knowing exactly what those studies are. But it has  
5 to be -- this has to be a solvable problem with technology.

6 VICE CHAIR GUNDA: Thank you. And just, I think,  
7 a quick follow up.

8 Rick, I think you mentioned one of the things  
9 around, you know, potential cost share opportunities on  
10 network upgrades. Could you just expand on that a little  
11 bit?

12 MR. UMOFF: Sure. I think the idea there is in  
13 areas where we know network upgrades are really needed and  
14 we know there's a real benefit looking at the, you know,  
15 maybe, you know, looking at the costs and benefits and  
16 considering a cost sharing between, you know, with rate  
17 payers potentially, so you know, if the cost is the issue  
18 on the upgrade and we know the state knows there are  
19 certain areas we're going to need to do those upgrades,  
20 finding a way to socialize some of those costs to break  
21 through that cost barrier.

22 And I think we recognize that that's not going to  
23 be everywhere necessarily but, you know, there may be some  
24 upgrades where there's deliverability opportunities where,  
25 you know, they've reappeared over and over that it might be

1 worth honing in on.

2 VICE CHAIR GUNDA: Back to you, Commissioner  
3 Monahan.

4 COMMISSIONER MONAHAN: I'm curious if you have  
5 examples of this transparency that a number of you have  
6 asked for. Do you have examples across the country of a  
7 transparent process?

8 MR. UMOFF: I think this is a complaint that we  
9 hear a lot everywhere. I don't have off of my fingertips  
10 like an example of a really great transparent process.

11 I mean, I would maybe look to you, not to put you  
12 on the spot, Jess, but if you've interacted with other, you  
13 know, PTOs and other places where it's been easier.

14 MR. MELIN: No, I mean, quite the opposite;  
15 right? I'm thinking, you know, across the WECC with  
16 PacificCorp and MISO, that's kind of the issue across the  
17 nation, is you submit an interconnect request and then  
18 nothing happens for a while. And then you get a surprise.  
19 And most more often than not, that surprise is if you don't  
20 have a PPA, you're out of the queue, or if you don't have a  
21 permit, then you're out of the queue. And so there's these  
22 very draconian methods to reduce the queue size rather than  
23 push projects through the queue.

24 So I'm unaware of a transparent process that  
25 works well that, you know, they take a lot of input. And I

1 understand that; right? You know, one of the ideas that  
2 we've had, you know, as one of the larger developers is let  
3 us build the network upgrades, let us build the substation  
4 stuff. But I'm wearing my NextEra hat, not my FPL hat,  
5 because clearly the utilities need to protect their system  
6 and they can't just open it up.

7           So I'm unaware of a transparent process. I think  
8 there needs to be queue reform across the nation,  
9 Commissioner, and I think that's kind of the frustration  
10 with developers. And that's why you see 350 gigawatts  
11 submitted. Because the best way I could describe it is  
12 throw a dart, throw as many darts as you can, and when the  
13 lights come on, hope that you hit the target.

14           COMMISSIONER MONAHAN: So do any other members of  
15 the dais have questions for the panel?

16           VICE CHAIR GUNDA: Commissioner Monahan, if  
17 you're okay, I just want to, you know, use a little bit of  
18 time.

19           I think, specifically, you know, we have this  
20 issue of also rate impacts and affordability; right? So we  
21 are kind of talking about affordability, clean transition,  
22 reliability and equity altogether, and we want to focus on  
23 all those four pillars.

24           And when we talk about socializing costs, Rick, I  
25 think, you know, have you seen examples elsewhere, any

1 other place that has been trying to do that and  
2 incorporating that, and not just through ratepayer money,  
3 any other ways, you know, like incentives, or is there an  
4 opportunity for federal funding? You know, what do you  
5 guys think on those issues?

6 MR. UMOFF: Yeah, I don't have any at my  
7 fingertips but I'll definitely, you know, I'll definitely  
8 ask our team and see what they're seeing in other  
9 jurisdictions, if there are good examples of that and we'll  
10 definitely put some in comments.

11 You know, I think one thing about cost to  
12 ratepayer impacts is there's also the effect of waiting and  
13 how that cost ratepayers; right? I mean, one of our  
14 frustrations is that we feel like we're way behind the  
15 eight ball on transmission buildout and on procurement.  
16 And that has cost ratepayers money, and that will continue  
17 to cost ratepayers money because now we're sort of playing  
18 this catch up game.

19 And so I think that's another way to be as you're  
20 looking at this is, you know, delay is going to, in the  
21 long term, cost ratepayers, unless we all decide we're not  
22 going to do clean energy, which is not going to happen. So  
23 I just think it's important to keep that perspective and  
24 don't allow ourselves not to act where we know it's in the  
25 ratepayer's interest because of somebody's like near-term

1 cost concerns.

2 MS. RADER: If I could tag on to that?

3 I was glad to hear the discussion earlier about  
4 the importance of balancing area coordination. And the  
5 plan does include a potential subsea cable project jointly  
6 with LADWP. And because we're so far behind, you know, if  
7 that can be added to this year's Transmission Plan, it  
8 would put one more project on that long road to  
9 construction and would also act to hedge some of the risks  
10 of the other the other projects in the plan. So I think we  
11 just need to do as much as we can this year because we're  
12 so far behind.

13 PRESIDENT MAINZER: Commissioner Monahan, this is  
14 Elliot. I just, I'm not sure, well, certainly that  
15 conversation is certainly happening and we'll see where  
16 that happens.

17 But I just wanted to just maybe close with this  
18 to just sort of map out the sort of next six to seven  
19 months. I think the next six to seven months are going to  
20 be extremely consequential for these conversations. I want  
21 to make sure everybody knows exactly how this could play  
22 out.

23 So first of all, you know, mid May, we will be  
24 taking the 2022 to 2023 Transmission Plan to the California  
25 ISO Board of Governors for approval; right? That's 46

1 transmission projects. That's \$9.3 billion worth of  
2 investments. That's probably the single largest tranche of  
3 transmission infrastructure investment we've seen in  
4 California in generations.

5           So getting that approved and then really quickly  
6 moving into mobilization to make sure, you know, delivery  
7 on that and everything from the evaluations, the  
8 permitting, the siting with CPUC, and the competitive  
9 procurement, dot, dot, dot, there's a lot to do, but we've  
10 got to deliver on that plan.

11           At the same time, the Interconnection Process  
12 Enhancements initiative that we're moving out on will be  
13 proceeding across the course of 2023. This is the place  
14 where we're going to get real about what additional  
15 interconnection reforms are necessary, honoring open access  
16 principles but, you know, continuing to recognize the  
17 transformational reform in a way that's synchronized with  
18 state transmission planning and queuing and procurement is  
19 absolutely essential. And as we've committed to, we're  
20 going to be willing to pop the hood and continue thinking  
21 about the deliverability methodologies as well so that we  
22 can make best use of our existing transmission capacity.

23           So over the course of the next several months, we  
24 should be able to get ourselves to December of 2023 and be  
25 able to step back and see, you know, what are the

1 additional reforms that we've put in place. And my hope is  
2 that we can get real alignment within the state, within the  
3 stakeholder community of the need to deliver. And we'll  
4 certainly take a look at, you know, automation tools for  
5 studies. I think that's right.

6 But I think the key thing we want to be doing is  
7 ask the right questions, get the processes synchronized  
8 effectively, use your infrastructure as efficiently as  
9 possible, and get real about what we need to build if we're  
10 going to onboard anything close to what's necessary for SB  
11 100.

12 So that's the thought process here at the CAISO.  
13 We really appreciate the collaboration with everyone. We  
14 are deeply committed to this and we need to make real and  
15 tangible progress across the balance of 2023.

16 COMMISSIONER MCALLISTER: Maybe I'll just step  
17 in. Elliot, you sort of read my mind there with some of  
18 your comments. And I guess a lot of arrows are pointing  
19 towards this CAISO process. And I think a couple of people  
20 mentioned sort of, you know, there's a kind of policy, like  
21 I think Neil said it most articulately where, you know,  
22 actually there's the policy embedded in some of these  
23 technical processes really are policy calls.

24 And so as we work through the stakeholder  
25 process, it's certainly -- like my hope would be, and I

1 think it's kind of coming out in the discussion, that the  
2 actual policy decisions get surfaced so that they can be  
3 made. And so and then we could perhaps really have a much  
4 cleaner queue and more sort of forthright and intentional  
5 decisions about the prioritization within that queue.

6 I guess the question then would be, you know,  
7 that's going to have some winners and losers. And the  
8 process as it's been today has been sort of like, you know,  
9 projects are hanging out on the queue and the black box and  
10 sort of the answer pops out. But that's sort of de facto  
11 policy waiting for new information to come and kind of, you  
12 know, it's sort of messy. But I think, you know, is  
13 everybody kind of prepared to sort of actually live with  
14 the consequences of that more transparent process, I guess,  
15 would be my question? Because there will be some  
16 significant portion of the queue that sloughs off.

17 MR. UMOFF: I mean, I'll quickly respond to that.  
18 I mean, I think one thing we are telling our member  
19 companies often is, you know, with queue reforms comes  
20 maybe some hard choices, and you can't have it both ways.  
21 So that's how that goes; right? I mean, we want it to be  
22 as fair as possible. We want to recognize the different  
23 developers and we want open access.

24 But we also recognize the CAISO has to make some  
25 choices; right? And if you want to make some changes, that

1 could have some negative impacts on some developers and  
2 that's -- you know, hopefully it's guided by principles so  
3 it's not arbitrary and it's going towards a resolution of  
4 more efficient process. You know, but I think if that's  
5 where it's heading, people can generally get on board with  
6 that.

7 I also just wanted to quickly acknowledge to Vice  
8 Chair Gunda that I've got a few follow ups here, examples  
9 of transparency around the country, examples of application  
10 of technology to create more efficiency and socialization  
11 of network upgrade and transmission costs in other parts of  
12 the country. So I'll definitely follow up on those. And  
13 if there are other questions that you have that we think we  
14 may be able to help with, please don't hesitate to reach  
15 out. We can try to track down information for you.

16 COMMISSIONER MONAHAN: Alright, I don't see any  
17 more comments from the dais, so I think we can close this  
18 one up.

19 Just thank you for all your perspectives. This  
20 has been really informative, a good, you know, segue from  
21 the morning session, you know, when we heard for at least  
22 several of the utilities that there's a six-year wait  
23 period between, I mean, by the time, from application to  
24 actually having a project, and that only 20 percent or even  
25 less than 20 percent of applications resulted in projects.

1 So just if that isn't a really strong indicator that  
2 there's kind of room for improvement in all of this, so the  
3 suggestion about, well, how do we make sure that these are  
4 viable projects? And some of them will need maybe a more  
5 transparent way to sift through ones that are not moving  
6 forward.

7 So Heather, I'm going to pass it to you for just  
8 the next -- are we taking a break now or are we moving  
9 directly to the next panel?

10 MS. RAITT: It is entirely up to you. If you  
11 would like to take a break, we had scheduled taking a break  
12 now. We were going to take a 15-minute break if you'd  
13 like, or if you'd like to power on --

14 COMMISSIONER MONAHAN: Well, I'd ask the --

15 MS. RAITT: -- we can do that.

16 COMMISSIONER MONAHAN: -- the dais, would you  
17 rather just power through or take a break?

18 I'm sorry, what was that, Vice Chair?

19 VICE CHAIR GUNDA: I'm sorry, I meant to say a  
20 joke. We looked at your leadership.

21 PRESIDENT REYNOLDS: I second that.

22 COMMISSIONER DOUGLAS: Well, I'm inclined to  
23 power through, but that's -- I feel like the morning  
24 session was probably -- that was the longest one. This one  
25 is -- we just have one more and then we'll be done for the

1 day, so I vote for powering through. Alright, let's do it.

2 MS. RAITT: Alright. Well, thank you to all the  
3 panelists, and then I'll just turn it back to you to go  
4 ahead and keep it going.

5 MR. WENDER: Absolutely. I'll jump in and  
6 introduce our last panel, which will focus on  
7 recommendations for improving full grid interconnection  
8 timelines, improving transmission expansion and  
9 utilization. We'll have Will Gorman from Lawrence Berkeley  
10 National Lab moderate this panel.

11 And, Will, I'll turn it over to you.

12 MR. GORMAN: Great. Well, thank you, Ben, for  
13 the introduction, and thank you all for including me today  
14 on this very fruitful discussion. So as he said, I am a  
15 research scientist up at Lawrence Berkeley National Lab.

16 And I do have slides. I don't know if it's  
17 possible to go to the next one? Perfect. Looks a little  
18 faded, but that's fine. It's just the title slide.

19 So I'm one of the co-leads of our work on  
20 interconnection issues on the bulk power system at the  
21 National Lab. And before I turn it over to the panelists  
22 today, I was asked to set the stage a bit on our  
23 interconnection challenges, many of which, of course, we  
24 have been discussing since this morning. But hopefully  
25 I'll contribute more of a national context using data that

1 we've been collecting over the last few years at the lab.

2 Next slide, please. Great.

3 So I'm going to quickly step through a lot of  
4 data. And so it might be a little overwhelming, but I do  
5 encourage folks, if you're interested, either getting in  
6 touch with me or going to the link I include on this slide.  
7 But I'm going to be sharing graphs from Berkeley Lab's  
8 queued up report.

9 And on this slide, I want to make the point,  
10 which is a point that a few of the panelists from the  
11 session just before made, is that this problem is not just  
12 a California one. And so I highlight CAISO in these slides  
13 with a red box but, as I hope this chart shows pretty  
14 clearly, is that we've seen tremendous growth in queue  
15 applications in all regions of the United States.

16 The largest region, at least at this aggregation,  
17 is the non-CAISO West. And that growth, as we've heard  
18 today, has created significant workflow and workforce  
19 challenges across the nation, especially as we've relied on  
20 existing tools and administrative processes, many of which  
21 I think we're hoping to improve upon, but that is still a  
22 work in progress.

23 Next slide, please.

24 So to really drive that point home, we compared  
25 the queues in 2010 as compared to 2022 with the total

1 installed U.S. power capacity, and that's what you see in  
2 this graphic. And we're basically showing that proposals  
3 in the queue at the end of 2022 were almost double the  
4 entire installed capacity of the US power fleet, so that's  
5 pretty wild. The good news here is that more than 95  
6 percent of that capacity is zero carbon.

7 Next slide.

8 Now, you know, if you're wanting to accelerate  
9 clean energy, that, of course, is a good news story. But  
10 we have also found, which is aligned with some of the  
11 statistics I think that were shared a little bit earlier,  
12 is that across the country, only about a fifth of these  
13 projects have historically been built. And unfortunately,  
14 that does vary regionally, of course. And you can see on  
15 this particular graph that CAISO is on the low end of that  
16 range with only a little more than ten percent being built.

17 And, you know, one consequence of those  
18 withdrawal rates is the need to restudy a bunch of projects  
19 that remain in the queue, and it increases a lot of  
20 uncertainty which, of course, leads to more people needing  
21 to apply to the queue because of that uncertainty.

22 Next slide.

23 So still, you might not think that this is  
24 necessarily the sign of a problem if the queues are  
25 operating efficiently, you know, moving bad proposals out,

1 getting good projects online quickly. But unfortunately,  
2 we are also finding that projects are taking longer to  
3 complete interconnection studies and connect, which does  
4 become a problem if we are trying to target specific  
5 timelines for getting clean energy connected.

6 So in this particular slide in the graphic on the  
7 right, in particular, you can see that CAISO is roughly in  
8 line with many of its ISO peers, but the study duration, so  
9 just the period not even necessarily getting online, but  
10 just that study period is creeping up to 40 months.

11 Next slide.

12 So given that today we're focused on California,  
13 I'm going to share another graphic that does start to get a  
14 little bit more in the weeds, but I think it's an important  
15 story to tell in the data that we have, is that we have  
16 found that since 2016, there has actually been a dramatic  
17 rise in the time from securing an interconnection  
18 agreement, so the time from application to doing the  
19 studies to securing that contract with the ISO to  
20 commercial operations, which suggests that the problem here  
21 might not just be solely the result of a challenging  
22 interconnection process itself, but also related to other  
23 challenges in the development process, such as securing  
24 offtake or siting permits, you know, amongst a number of  
25 other things.

1           And that's important context, I think, to keep in  
2 mind that there is not just the interconnection process  
3 when it comes to development.

4           Next slide.

5           So more evidence of a problem that we've seen  
6 across the country is that we are finding that the costs to  
7 interconnect are rising, and I think this is in line also  
8 with other comments earlier, that these are largely being  
9 driven by the expansion of bulk power network costs, so  
10 large-scale transmission upgrades that have been identified  
11 during the interconnection study process, and these high  
12 and oftentimes unpredictable costs can lead to higher queue  
13 entry, basically using the queue as an information  
14 gathering exercise, and then ultimately more withdrawals.

15           Alright. Next slide, and this will be my last  
16 before I turn it over to the rest of the panel.

17           So the last thing I wanted to do really is a  
18 little bit of advertisement for the Department of Energy  
19 program that has funded a lot of the work that I just  
20 shared, but it also gives me an opportunity to state that  
21 at the Lab, in the national lab ecosystem, we are trying to  
22 do more than just document the problem of the  
23 interconnection process. So the Interconnection Innovation  
24 Exchange, it's a national program funded by the Solar and  
25 Wind Technology Offices at the Department of Energy that

1 aims to enable a simpler, faster, and fair interconnection  
2 process ultimately. And there are really four key pillars  
3 of work. I've listed those on the slide here. I'm not  
4 going to go through each of them.

5           The data I just presented on is related to this  
6 data and analytics pillar, which really aims, and I think  
7 it will resonate with the conversation we were just having,  
8 it aims to increase the transparency of this process so  
9 stakeholders who are engaged here can make informed  
10 decisions, especially as it comes to comparing regions with  
11 each other.

12           But we also have a pretty robust stakeholder  
13 engagement effort that is trying to facilitate nationwide  
14 exchange of ideas and solutions and best practices, and  
15 that's a critical element of this work.

16           And then finally, we also plan to release a  
17 solutions-oriented roadmap sometime this year that will  
18 summarize/categorize the full suite of ideas and solutions  
19 that we've been collecting through this program.

20           Okay, so with that, that is it for my little  
21 soliloquy here. I'm going to move into introducing the  
22 speakers that will hopefully refocus us back on the  
23 California context. That is obviously the purpose of our  
24 discussion today, and then hopefully offer some solutions  
25 and opportunities to address the interconnection and

1 transmission challenges.

2           So first up, we have Michael Colvin, who's the  
3 director of the California Energy Program at the  
4 Environmental Defense Fund.

5           MR. COLVIN: Thanks Will. I really appreciate  
6 it.

7           So this work is presenting a paper that  
8 Environmental Defense Fund co-authored with Clean Air Task  
9 Force, and I list off our contributing authors here on the  
10 bottom of the slide.

11           If we can go to the next slide, please?

12           This is something telling you all something that  
13 we already know of how much of a leader California is and  
14 the size of the problem that we are facing.

15           Let's go to the next slide so we can start  
16 getting into the real substance here. And keep advancing,  
17 please.

18           So meeting California's clean energy targets is  
19 going to require a massive, almost unprecedented build out  
20 of the grid, depending on some of your transmission  
21 assumptions. If we have a regional market and a few other  
22 things, that number is going to be about 3 to 4X here in  
23 California on in-state generation alone over the next 20  
24 years.

25           And let's go to the next slide, please.

1           And the amount of that new generation is going to  
2 be required, a lot of it is going to come from solar. It's  
3 one of the most cost-effective resources that we have, but  
4 when you look at how much solar we have been building since  
5 the start of the renewable portfolio standard, that's that  
6 bottom line in that bluish color, if you were to expand  
7 that out on its current trend line, we wouldn't meet our  
8 goals. We are going to have to cause a kink in that line  
9 to a larger amount than what we currently have. And  
10 depending on how much you want to do that by, you know,  
11 we're going to have to figure out how do we kind of get  
12 onto that higher trajectory.

13           I note that the more diverse the resource  
14 portfolio is, if you're as scared by those high solar  
15 penetration numbers as I am, just because we might not have  
16 that much land available to actually build that much solar,  
17 then we're going to need, one, more transmission to help  
18 move power around faster, and two, we are going to need  
19 signals for larger diversity of clean resources than what  
20 we are currently sending out into the market.

21           Let's go ahead and go to the next slide, please.

22           And so very similar to the story that Will just  
23 laid out for us, not only do we need three times the amount  
24 of generation, but we're going to need three times the  
25 amount of wires itself. That amount of new wire, in part,

1 is going to depend on how much intrastate transmission we  
2 are going to want to do versus how much interstate  
3 transmission.

4 Part of the modeling work that EDF did, both in  
5 this and another underlying study, assumed that we would be  
6 able to get to a western-wide regional transmission  
7 organization and still need a massive transmission build  
8 out. The numbers get even harder to fathom if you don't  
9 have that large amount of western geographic diversity  
10 attached to your scenarios.

11 And so one of the key underlying assumptions for  
12 the IEPR that I think we're going to want to consider is  
13 are we on that pathway of having the full geographic  
14 diversity of the west to help contain our overall  
15 transmission investment story, or are we trying to do this  
16 with a borders-only solution, knowing that California  
17 imports 30 percent of its power today and that we need a  
18 place to put a lot of our bulk excess power?

19 When Elliott was speaking on the last panel, I  
20 just couldn't help but be thinking about the sheer amount  
21 of curtailed power that California has. And if we had a  
22 market to really be able to put that on a long-term basis,  
23 we would be able to decarbonize the west even faster. So  
24 the amount of transmission that we want and that policy  
25 call that we need to make is going to be a really vital

1 assumption here.

2 We can go to the next slide, please.

3 And the good news is that we are able to do this.  
4 We are seeing some, you know, easy on-ramps onto part of  
5 this.

6 And if you can click next on the slide?

7 But we are going to hit eventually some sort of  
8 an S-curve where cost of land area is going to be high.  
9 The amount of landowners willing to have a right-of-way  
10 given up is going to get more contentious. Some of the  
11 capacity factors, the good stuff is going to get developed  
12 first, and so you are going to get diminishing returns both  
13 on your transmission capacity and your willingness from  
14 your local communities the longer you go. So we have to  
15 think through, how do we get as much of our development on  
16 the left-hand side of this S-curve as long as we can and  
17 reduce the barriers that are on the right-hand side?

18 Let's go ahead onto the next slide, please.

19 Will, I think, did a really fantastic job talking  
20 about the queues here. But, you know, at the risk of being  
21 a little bit of a downer, not only things take a really  
22 long time, but then there are delays on top of what is  
23 there.

24 And I say this as respectfully as I can to all of  
25 the Commissioners that we have on the virtual dais today,

1 but none of you have actually approved a transmission line  
2 that has then been constructed in California. When you  
3 look at the last major line that was built, none of you  
4 were in your current roles. We have incredible  
5 institutional knowledge both within the state  
6 infrastructure and you all have incredible depths of  
7 knowledge yourselves, but it just hasn't been done before,  
8 and now we're going to have to be doing it both for  
9 expansion of the existing system and new infrastructure  
10 sort of at the same time.

11           And so one of the stories to take away from here  
12 is coordination is going to be key, and two, there are  
13 going to be delays, even on top of the long timelines that  
14 you've talked about. This is the data to show that. And  
15 so the more that we can do tabletop exercises, the more  
16 that we can do sort of coordination amongst the various  
17 agencies to try and expedite how one part of the process  
18 flows into the other is going to be really critical to help  
19 shorten these unexpected delays as best as we can.

20           Let's go to the next slide, please.

21           This slide is standing on the shoulders of the  
22 Nature Conservancy's Power of Place work. And I believe  
23 Erica Brand is watching this or has certainly cheering us  
24 on from afar now that she's at the CEC. But when you look  
25 at the amount of total land that is available in California

1 for something, whether it is power generation or power  
2 transmission, it is not as much land as we think.

3 And let's go on to the next slide, please.

4 And so there is some land that is available that  
5 is suitable to develop.

6 Let's go to the next slide again.

7 But it's important to recognize that not all  
8 potentially suitable land is actually going to be able to  
9 be developed. And so as you sort of go down this funnel of  
10 what can be done and has environmental integrity attached  
11 to it, and then what can be done practically within that,  
12 is far less than the initial estimates might say.

13 The takeaway from this is sort of twofold. One,  
14 we have to get the best and biggest bang for the buck for  
15 every square acre of land that is out there when it comes  
16 to energy generation. And two, the more that we can help  
17 expand the developmental land into the suitable category,  
18 the more that we can help encourage local communities who  
19 might be reticent to do this type of development and the  
20 more that we can help give them the resources, the easier  
21 time we're all going to have.

22 Let's go to the next slide, please.

23 To give you an amount, now this is something the  
24 Clean Air Task Force and the EDF Commission, this is no one  
25 actual realistic project, but we are trying to say that if

1 we were wanting to build the amount of solar that we say we  
2 want to build, it would look like this.

3 And for scale, let's go to the next slide.

4 We are talking about something the size of Lake  
5 Tahoe. It's that order of how big we're trying to do.

6 If we could go forward one more slide back to 15?  
7 Thank you.

8 And so just to make home the point of we are  
9 going to need thoughtful planning and thoughtful deployment  
10 as best as we can.

11 Let's go to the next slide, please.

12 So as part of the report that we Commissioned, we  
13 did about 200 different stakeholder interviews across all  
14 forms of state government within each of the agencies.  
15 Several of you who are on the dais, we interviewed, and  
16 your staffs. We also talked with renewable developers, we  
17 talked with environmental advocates, we talked with local  
18 community leaders, we talked with local permitting offices,  
19 we talked with everyone, really trying to understand what  
20 was going on.

21 Thank you for the time check. I'm wrapping up.

22 And one of the things that emerged was  
23 everybody's in charge and nobody's in charge. And I have  
24 to give you all a lot of credit with your new Memorandum of  
25 Understanding. That goes a long ways of helping. But one

1 of the things that we recognize is that there's going to  
2 need to be somebody who is just point, on making certain  
3 that things are not slipping.

4 If we can go to our next slide, please?

5 And so one of the recommendations that we have is  
6 not a plan of the IEPR or the Transmission Plan or the IRP,  
7 those are all about sort of future forecasts and future  
8 needs, but a document that says, here's how we're actually  
9 going to deploy, here's the Gantt chart, here's the project  
10 management plan that has the specifics on the quantities,  
11 the locations, where we're going to do something, by when,  
12 who is going to do this, what happens if the PUC needs  
13 another six months because of something that happened with  
14 an ALJ, what happens if the ISO needs something because the  
15 batch server didn't work, what happens if this -- so just  
16 understanding the risk assessment and how things are going  
17 to flow from one to the next. So develop the actual  
18 deployment plan, what's getting built, where, when.

19 Have somebody quarterback that plan, have a place  
20 to help develop the dashboard to see how we're doing the  
21 progress. One of the things that we heard from the  
22 developer community was if they had better transparency and  
23 visibility into where they were at in the queue, it ends up  
24 lowering their risk and therefore lowering their costs.  
25 And so that level of transparency ends up being really

1 vital to understand if they're going to get built, if  
2 they're going to get selected, and it ends up making a huge  
3 affordability impact to customers.

4           There's a bunch of supportive policy that we can  
5 do to basically give local agencies resources for their  
6 end. And so one of the other recommendations that we had  
7 here, and this is this last bullet, is give local  
8 permitting entities and local communities the research  
9 ability -- the outreach ability, excuse me, to be able to  
10 do the engagement.

11           The PUC, for its part, does have an Intervenor  
12 Compensation Program to help. It's a little bit  
13 cumbersome, and I speak as somebody who does intervenor  
14 compensation all day long. The Energy Commission and the  
15 ISO do not have that kind of a counterpart. And there  
16 aren't necessarily grants available to local communities to  
17 help them hire the experts that they need to hire or to  
18 understand what their desires are. And that's something  
19 that can be rectified.

20           If we can go to our next slide? I think you slid  
21 one up, but it had my contact info, and I'm looking forward  
22 to your questions. Thank you all so much.

23           MR. GORMAN: Great. Thank you, Michael.

24           So I will introduce our next speaker. We have  
25 Karen Wayland, who is the CEO of GridWise Alliance.

1           Karen, if you can unmute? And the floor is  
2 yours.

3           MS. WAYLAND: Thank you, Will.

4           Well, I'm going to go to the next slide then.

5           GridWise Alliance, for those of you who don't  
6 know, is a membership organization of utilities, of grid  
7 equipment manufacturers and vendors. We have three of the  
8 five RTOs, including CalISO. We have a number of  
9 consulting firms who work with the utilities on developing  
10 grid modernization projects.

11           So next slide, please.

12           We develop, among the other things that we do, we  
13 develop resources for state and local policymakers  
14 explaining the grid so that when you're making decisions,  
15 you know, you've got resources that explain to you what  
16 this black box of a grid is, what the kinds of technologies  
17 are that are going to be deployed on the grid.

18           One thing that you might find interesting and  
19 useful as you're thinking through your recommendations  
20 going forward is a paper that we did recently, *Near-Term*  
21 *Grid Investments for Integrating Electric Vehicle Charging*  
22 *Infrastructure*, which lists out the kind of no-regret  
23 strategy for technology deployment in this near term of  
24 addressing increased load and possibly sending time of use  
25 signals, but setting the stage for true vehicle to grid

1 integration and that kind of fully integrated DER onto the  
2 bulk power system.

3 We're currently working on a paper on the kinds  
4 of technologies that need to be in place for full  
5 implementation of FERC Order 2222, so stay tuned for that.

6 But what I want to talk to you today, and it's  
7 very convenient that I followed Michael -- next slide  
8 please -- because he talked about the difficulty in siting  
9 transmission, and we know that even if we had a perfect  
10 situation, we had, you know, the adequate land, we had a  
11 very streamlined siting and permitting process, it would  
12 still be hard to build transmission and it would take a  
13 long time.

14 And so how do we, the question is now, how do we  
15 maximize the performance of our existing tech -- sorry, I'm  
16 seeing you Will. Are you seeing me, my video?

17 MR. GORMAN: Yeah, I am seeing you. I can --

18 MS. WAYLAND: Okay. Alright. Thanks.

19 MR. GORMAN: -- take my video off. Yeah, your  
20 video is working.

21 MS. WAYLAND: So I came on late, so I apologize.

22 So the question right now is: How do we maximize  
23 the performance of our existing transmission? And for us,  
24 it's clear that we have the technologies to actually get  
25 more out of our system. And those are the hardware and

1 software that we're calling grid-enhancing technologies  
2 that will increase the efficiency, capacity and reliability  
3 of both the transmission and distribution system. But  
4 since we're just talking about the bulk power system in  
5 today's workshop, I'm just going to focus on the  
6 transmission system.

7           So these grid-enhancing technologies, or GETs,  
8 are faster, cheaper, and they're modular solutions to the  
9 transmission congestion that we're experiencing now. And  
10 the installation and payback time is significant.  
11 Installation is less than a year. And in some of these  
12 projects, the payback period can be less than, you know, on  
13 the order of just a couple months. So they are modular,  
14 they can be removed and replaced and moved around the grid  
15 depending on where the constraints are, and they're  
16 reversible.

17           And one of our members, VELCO, in Vermont, which  
18 is a transmission, you know, builds and owns transmission,  
19 said that for them, they view GETs really as a critical  
20 part of an overall strategy to build new transmission,  
21 because you need to show the public that you have done  
22 everything you can possibly do to get the capacity of the  
23 existing transmission system before you ask to go through  
24 the difficult process of siting and permitting new  
25 transmission.

1           So next slide, please.

2           So what are these GETs, these grid-enhancing  
3 technologies? There's a number of them. There are  
4 generally three categories that I'm going to talk about.  
5 But we shouldn't forget that storage, demand response, some  
6 of the things that we know, help us give flexibility to the  
7 grid operators are out there already. So I really want to  
8 concentrate on the kind of new technologies that have been  
9 developed that are online. They're frequently used in  
10 Europe, less so here in the United States, and we'll get to  
11 that reason later. But the three I want to talk about are  
12 demand line rating, power flow control, and topology  
13 optimization.

14           So if you think about how grid operators manage  
15 the flow of electricity, they're moving electricity around  
16 to meet load and dispatch conditions. And they move that  
17 electricity around the grid within the physical limitations  
18 of the transmission equipment, which is generally limited  
19 by thermal conditions. And you want to avoid equipment  
20 failure by keeping the lines, the conductors, the  
21 transformers from getting too hot and failing.

22           And in the conventional practice, we'd have a  
23 single static thermal limit, and that's the blue line on  
24 the bottom there, where you look at the hottest, sunniest,  
25 driest day with the least amount of wind in a particular

1 location, and you say, that's our thermal condition. We  
2 will not push any more capacity onto the equipment than  
3 what will overheat on this extreme day.

4           And what dynamic line rating does is give you the  
5 ability to vary capacity of that line based on real-time  
6 conditions. So you're using hardware and software, mainly  
7 sensors, to give you real-time information about wind speed  
8 and direction, solar radiation, temperature. And the  
9 safety of the lines then becomes based on the true  
10 conditions. And what that ends up doing is allowing you to  
11 potentially, in some instances, use past 50 percent more  
12 power across these lines in some conditions.

13           And so what we are seeing is that dynamic line  
14 rating, and the same is true for transformers in terms of  
15 that physics, the physical limits, but for line rating, it  
16 leads to a more cost-effective generation dispatch. And  
17 then if we get to renewables, it actually will help enhance  
18 the integration of large-scale renewables onto the  
19 California grid because it can reduce the amount of  
20 curtailment of renewables to avoid -- excuse me -- grid  
21 congestion.

22           The next one that I want to talk about is the  
23 power flow controls, which is basically advanced grid  
24 controls that can adjust the resistance across the grid to  
25 change the flow of electricity, and that can happen

1 manually or automatically, and moving away from congested  
2 lines. So you're actually just moving power across the  
3 system in a much more efficient way.

4           And then that ought to be paired with topology  
5 optimization, which is like what we envision Waze for the  
6 grid, you know, Waze the highway navigation system. And  
7 this is software that combines generation, demand, grid  
8 conditions across the grid to evaluate the best  
9 configuration for moving that power flow to maximize  
10 capacity.

11           So next slide, please. Thanks.

12           I will note that just recently, in the last  
13 couple weeks, Brattle just came out with a new report,  
14 which I think you'll find very useful, *Building a Better*  
15 *Grid: How Grid-Enhancing Technologies Complement*  
16 *Transmission Buildout*. And what they did is they looked at  
17 how you can deploy grid-enhancing technologies and the  
18 benefits that they can provide not only to the existing  
19 grid, so that before you're building out new transmission,  
20 but during and after construction.

21           So all the way through the cycle of transmission,  
22 you can deploy grid-enhancing technologies to get not just  
23 the operational benefits of, you know, reducing equipment  
24 failure and outages, but economic benefits. Because what  
25 happens with congestion is that when the grid is congested,

1 you can't move the cheapest electricity to the customer.  
2 You have to move what can get around the congested areas.  
3 And so if you can use grid-enhancing technologies, you'll  
4 see real economic benefits of reduced congestion.

5           It will provide additional visibility during  
6 extreme weather events, reduce the impact of outages, and  
7 avoid outages during transmission construction. When it's  
8 incorporated into new transmission projects, you'll get  
9 that enhanced value in new transmission so that your future  
10 capacity is maximized and you'll have less congestion. And  
11 it will, therefore, lower the overall cost of the  
12 transmission buildout and reduce the risks faced by  
13 developers and owners.

14           The next slide, please.

15           So we know that there are barriers to adoption.  
16 Otherwise this widely used technology in Europe would be  
17 more widely used here in the United States. And one of the  
18 biggest problems is, that I mentioned before, that the cost  
19 of GETs are relatively small compared to the cost of a  
20 large capital project. And as you know, most utilities, or  
21 the IOUs at least, are looking at the return on their  
22 investment, and that's driving some of their investment  
23 decisions.

24           And so one of the recommendations that we would  
25 make is that as you consider performance-based incentives,

1 you should think about how you can develop them to drive  
2 more adoption of GETs. You can consider GETs in state  
3 regulatory proceedings, so you can require that, you know,  
4 as you're looking at a grid modernization proceeding that  
5 comes before you, you ought to ask whether GETs have been  
6 considered.

7           You could look at some of the funding that you're  
8 getting from the federal government in terms of the  
9 resilience money or from your state coffers, and you could  
10 direct funding of GETs through grid infrastructure  
11 investments. You can look at how the RTOs and ISOs are  
12 doing their planning and make sure that GETs are included  
13 in that level of planning. And also, you could encourage  
14 renewable developers or you could create requirements that  
15 during a clean energy interconnection process, GETs are  
16 considered as a way to alleviate some of the congestion or  
17 curtailment that can happen in congestion.

18           So I think that is it.

19           Can we go to the next slide?

20           And that's it. Record time to give you some  
21 extra time back.

22           MR. GORMAN: Great. Thank you so much, Karen,  
23 really informative presentation there.

24           And so finally, last up on this panel, we have Ed  
25 Smeloff, who's a consultant with the Center for Energy

1 Efficiency and Renewable Technologies, as well as GridLab.

2 Ed, the floor is yours.

3 MR. SMELOFF: First, unlock the unmute. Good  
4 afternoon everyone.

5 And I'd like to thank Commissioner Monahan for  
6 organizing this excellent forum, a lot of good sharing of  
7 information, and thank the Energy Commission staff for  
8 putting it all together.

9 I'm Ed Smeloff, and CEERT has been organizing  
10 meetings over the past year, so every two weeks to discuss  
11 transmission planning, transmission expansion, and  
12 interconnection. We've engaged with a lot of the trade  
13 associations and environmental groups. And out of that, we  
14 produced a report on transmission for California. It's  
15 currently on the GridLab website, gridlab.org. GridLab's a  
16 nonprofit organization that provides assistance and  
17 technical advice to advocacy organizations across the  
18 nation, and we appreciate their support. I've been  
19 supported by them in working with CEERT.

20 So let's go on to the next slide.

21 One of the advantages of being the last person on  
22 the agenda is that everything that's important to be said,  
23 or not everything, but most of what's important to be said  
24 has been said, so I won't repeat it. A lot of this was  
25 provided to you by Shannon Eddy and the CAISO and others.

1           I do want to make a point of pointing out this  
2 graphic here, which shows that we were in a valley of not  
3 building transmission for about a decade. We did do the  
4 Tehachapi Regional Transmission Project, which I think was  
5 a big success. It drove a lot of development of wind and  
6 solar in California, a lot of the solar companies that grew  
7 in California as a result of that project and having the  
8 gathering substations available in the high-voltage  
9 backbone system that was developed by Southern California  
10 Edison. But we did go through a valley of non-development,  
11 partly driven, I think, by our view that there wasn't any  
12 load growth in California.

13           Well, we've turned the corner on that. The CAISO  
14 deserves a lot of credit for doing that beginning last year  
15 in the '21-22 Plan. They identified a couple of new large  
16 500 kV substations in the Delta and the Central Valley,  
17 which they put out and it went out to bid and selected, you  
18 know, a competent developer, so that's underway.

19           This year's plan, which is about ready to be  
20 adopted, the '22-23 Plan, is really aggressive. It's, I  
21 think, as we've heard from Elliot and Neil and others, it's  
22 a real groundbreaking plan that identifies 46 projects,  
23 \$9.5 billion. This will build up reliability and will  
24 enable us to do a pretty aggressive reduction of greenhouse  
25 gas emissions.

1           But there are some obstacles, and I will kind of  
2 mention a couple of issues that I think haven't yet been  
3 fully delivered or discussed in this forum.

4           You know, I think one that has been partially  
5 discussed is we really do need to pay attention to  
6 permitting. That's going to be the gating item for getting  
7 these projects done. It's not going to be easy for the  
8 state to permit 46 transmission projects, so we need to  
9 think about reforms that can enable those to get done more  
10 quickly than has happened in the past. Michael pointed  
11 out, you know, what our track record is. It isn't  
12 enviable. So, you know, we need some reforms.

13           One of the possible reforms is for those projects  
14 that are on existing transmission rights of way, let's  
15 minimize the environmental reports and impact statements  
16 that need to be done. We don't need to short-circuit a  
17 detailed environmental process on new greenfield projects,  
18 but we need to have the CPCN process and adequate staffing  
19 available at whatever agency, the Energy Commission or the  
20 PUC, so that we can get the permitting done in time.  
21 Because, you know, it's important to identify the need to  
22 pick out the projects, but we need to get them permitted  
23 and then built.

24           Let's go on to the next slide.

25           So the next slide also copies a slide you've seen

1 before, but I think it's worth looking at again, and I just  
2 can't highlight how important it is. What the CAISO has  
3 done by taking a zonal approach to transmission planning  
4 and linking it to the interconnection process and using it  
5 as a guidepost for the load-serving entities to do  
6 procurement is really important. We need to build on it.  
7 We need to really get this understanding that California is  
8 doing things differently with a zonal focus on  
9 transmission. We're going to go to the resource-rich areas  
10 of the state and develop the transmission that's necessary  
11 to bring those resources into the load centers in the  
12 state.

13           There's 22 policy-driven projects. Four of them  
14 are going to be competitively bid, and I want to mention a  
15 little bit more about that in the next couple slides, but  
16 we're seeing, really, development from some of the  
17 important areas, resource-rich areas in southern Nevada,  
18 western Arizona, the Imperial Valley, Riverside County,  
19 north of Lugo, so we are doing a lot to bring in new  
20 resources from the resource-rich areas as part of this  
21 zonal process.

22           But there's still more to be done. The '23-24  
23 Transmission Plan, I think, will be equally as important as  
24 the '22-23, because there still are some real challenges in  
25 the state, overcoming the north-south, you know, congestion

1 that occurs on Path 26, you know, advancing.

2 One of the things that CAISO did, which was  
3 really groundbreaking, was they did an analysis of what it  
4 would take to reduce dependence on the Aliso Canyon Gas  
5 Storage Facility and to reduce the need for gas fire  
6 generation in the L.A. Basin. And a large part of the  
7 answer is we need more transmission into the Los Angeles  
8 area. You know, Path 26 is a pretty robust path, but it  
9 does get congested, and we need to overcome that.

10 So there's an opportunity, I think Nancy  
11 mentioned this, and perhaps extending the '22-23 so we can  
12 do the collaboration that needs to happen between LADWP and  
13 the CAISO and advance the subsea cable that will bring  
14 power from the north into the L.A. Basin.

15 I want to go now to some Google Earth slides, so  
16 let's pace on to the next slide.

17 I think it's useful to kind of visualize the  
18 distances and the, you know, magnitude of the transmission  
19 projects that are being recommended in the CAISO plan.  
20 These are some long lines. A couple of them are going over  
21 green fields or going over desert that is, you know,  
22 uninhabited and in some cases are very sensitive habitat.  
23 And we really need to get this process right and do it in a  
24 way that engages local communities, engages tribal  
25 communities and disadvantaged communities, particularly in

1 places like Imperial County where we're going to do quite a  
2 bit of transmission development across into San Diego.

3 So I want to point out, and it's sort of an  
4 interesting recent development, so one of the projects that  
5 was recommended is the 500 KV line from the Trout Canyon  
6 Substation, which is in southern Nevada down to the Lugo  
7 Substation in San Bernardino County near Hesperia. And  
8 that's a line that will enable us to bring in quite a bit  
9 more power from southern Nevada and then ultimately wind  
10 generation coming in from Wyoming and Idaho.

11 However, what's really interesting is, and I  
12 think a very positive development, was just recently a  
13 developer put forward an alternative to this project, which  
14 would be the conversion of a 500 kV AC system to high  
15 voltage direct current. You know, we heard about GETs  
16 technologies. This is one of the technologies that I think  
17 is going to give us a lot better control over the system.

18 So there is, and I'm hoping and I'm expecting  
19 that the CAISO will evaluate this alternative. It goes  
20 from the Mead Substation, not too far from the El Dorado  
21 Substation and not too far from Hoover Dam over to the  
22 Atalanta Substation. It goes on an existing right-of-way.  
23 To the extent that we can use existing right-of-ways,  
24 expand the capacity on those rights of ways by converting  
25 from AC to DC, we should be looking at this. And this may

1 be one of the opportunities to do that.

2           The other project that's going to be challenging  
3 for us is to get power from the Imperial Valley Substation  
4 just outside of El Centro all across the coastal mountains  
5 up to a brand new substation north of the San Onofre  
6 Nuclear Plant north of SONGS. There's been some efforts to  
7 chart transmission through these areas. I think it can be  
8 done. We need to pay a lot of attention to the land use  
9 and environmental issues.

10           I know WECC has developed some overlays. It  
11 would be useful for the CAISO and others to use the WEC  
12 database and understand very precisely, even before the  
13 bidder, the developers selected through competitive  
14 bidding, understanding what are the issues and what may be  
15 the ways to minimize impact on the environment. It's  
16 really important that we do this well because this project  
17 that goes from Imperial Valley to north of SONGS really  
18 does loop the system together, provides a lot more  
19 reliability, and an opportunity to bring in quite a bit  
20 more clean energy.

21           Let's go on to the next slide. This one I'll  
22 spend short time on.

23           The next slide is the projects in the SCE metro  
24 area. These are important to get right as well. These  
25 will probably be part of SCEs. And we need to figure out a

1 way to do this cost-effectively. I know the PUC is, you  
2 know, focused on affordability. These are significant  
3 projects in an urban area and we need to figure out ways  
4 that we can do them cost-effectively, perhaps by enhancing  
5 credit and using federal funding to do that.

6 Well, let's go on to the next slide.

7 I wanted to do a little bit deeper dive on the  
8 transmission -- on the interconnection queue and focusing  
9 it on, you know, where are we seeing the interconnections?  
10 I haven't looked at Cluster 15, but I went and looked at  
11 the queue up through Cluster 14. And you can see that, you  
12 know, like many things, they're concentrated in specific  
13 areas of the state, specific counties.

14 Five counties, you know, have a lot, the bulk  
15 amount of the interconnection requests and capacity that's  
16 being requested for interconnection. And they're where you  
17 would expect, where you have a lot of solar resources, some  
18 geothermal resources that can be developed. So, you know,  
19 you're looking at Riverside, San Bernardino, Fresno, and  
20 then the Central Valley, Fresno, Kings, and Kern County,  
21 the lower Central Valley.

22 Let's go on to the next slide.

23 I think it's pretty informative. So we saw a lot  
24 of development in Southern California, and that's  
25 appropriate. There's a lot of resources in Southern

1 California and adjacent states that can be brought in. But  
2 there's an enormous resource in the Central Valley and an  
3 opportunity to develop solar and, you know, paired battery  
4 storage as a way that's beneficial for the local  
5 communities there and is a way to get the resources that  
6 can be delivered north and south up to the Greater Bay Area  
7 or into the L.A. Basin.

8           You'll notice here that as you look at what's in  
9 the queue, we're seeing a lot of hybrid projects. This is  
10 something that's developed over the last three or four  
11 years. And we think there's a real advantage, particularly  
12 in the Central Valley, where you're going to need to use  
13 your storage to get the power out during peak conditions  
14 that can be challenging.

15           So I want to go on to the next slide, which talks  
16 about the need to focus on the '23-24 Plan on the Central  
17 Valley.

18           So the Central Valley has a large backbone  
19 transmission line, Path 15, which goes from the Tesla and  
20 Tracy substations down to the Gates and down to Midway.  
21 And the 20-year transmission outlook did a look of an  
22 enormous quantity of potential projects, renewable projects  
23 in the Central Valley and identified a lot of system  
24 overloads and a need for additional transmission in the  
25 Central Valley. It didn't show up in the '22-23 Plan in

1 part because the base case scenario that came over from the  
2 PUC was less than the sensitivity. The sensitivity is,  
3 almost, it's more than two times the amount there. So as  
4 we push the limit of what we can get there, we're going to  
5 have to do more transmission in the Central Valley. And  
6 here are some of the projects that were considered in the  
7 20-year outlook.

8           So let me move on to the recommendations that we  
9 came up with in our transmission report, the CEERT  
10 Transmission Report. And I know some of these may be  
11 pushing the envelope, but they're on the next slide, if we  
12 can go on to that? If we can go on to that? There we go.

13           So again, I can emphasize how important it is to  
14 educate the developer community around the zonal focus, the  
15 geographic focus that's being used now by the CAISO. It's  
16 really transformative. It's a sea change in the way we're  
17 doing. We're leading with transmission. That's the way it  
18 should be. And the developer community needs to understand  
19 that it's a great opportunity, but they need to understand  
20 what it is and where the zones are and where they should be  
21 getting site control and developing projects to go into the  
22 future clusters of the queue.

23           But we do have a problem right now. Everybody  
24 agrees that the queue is way too big. And Elliot made a  
25 really compelling point that we're doing these studies that

1 are not actionable. They're being done to comply with the  
2 tariff, but they use up a lot of resources, and we're not  
3 getting anywhere by doing that. So we need to have some  
4 carrots and sticks to be able to whittle down the queue.

5 A lot of it can be done, hopefully, by education.  
6 We need to encourage, you know, interconnection customers  
7 to go to the zones where there's going to be capacity. And  
8 that just is outreach education. Perhaps some  
9 incentivization of that by, as we do the system impact  
10 studies and facility studies, that we prioritize those that  
11 have gone to the locations where we have available capacity  
12 on the transmission line.

13 We do need to have some headroom. We do want to  
14 use competition as a way to allow load-serving entities to  
15 select the best project. So there does need to be some  
16 headroom on that, and more interconnection requests than  
17 actually will get built, but not the magnitude of what we  
18 have now.

19 The stick is a little bit harder. I mean, maybe  
20 we need to have some tough love during the scoping meetings  
21 and tell the interconnection customer that this just is not  
22 a good location. You're not going to like the results, so  
23 you may want to go somewhere else.

24 And then maybe even some harder screening  
25 criteria like project, some sort of viability calculator

1 where you're looking at site control and progress in the  
2 land use permitting process, and maybe even some early down  
3 payments on equipment orders so we can see who are the  
4 serious developers and not those just throwing darts on the  
5 dartboard.

6 So I'm looking forward to the enhancement  
7 process, the interconnection enhancement process. We're  
8 going to need both, you know, carrots and sticks to get it  
9 done.

10 We heard about busbar mapping. So the 20-year  
11 outlook really did, I think for the first time, take a hard  
12 look at commercial interests and where are the developers  
13 going and map the busbars, map development to the busbars.  
14 Where there is commercial interest, there obviously has to  
15 be screening for environmental issues. We need to update  
16 the busbar mapping based on Cluster 14, Cluster 15, and  
17 have this be an iterative process. Plus we need to have,  
18 you know, the look at what are the environmental impacts of  
19 going to specific locations.

20 As I mentioned, I think we're going to need to  
21 prioritize transmission development in the Central Valley  
22 where there is significant commercial interest, as I showed  
23 in the previous slides. More capacity is needed between  
24 the North and the South, which is a reason for the subsea  
25 cable that can alleviate congestion, as well as bring power

1 from offshore wind and Central Valley solar and reduce the  
2 use of gas in the L.A. Basin.

3           We're real pleased to see that there is now a  
4 high voltage DC line that's being proposed in California  
5 over considerable distance. Will, your colleagues over at  
6 LBNL have been thinking about this issue and researching  
7 it. And they're coming out with, I think, a report soon,  
8 talking about the potential for reconducting and actually  
9 just straight on conversion of AC to DC lines in California  
10 and elsewhere. This would be a very useful issue in the  
11 IEPR for the CEC to investigate: How can we advance this  
12 technology, which provides a lot more capacity, can use  
13 existing right-of-ways, and provides, actually, more  
14 control, voltage control? We heard you can change the  
15 induction levels on the DC lines.

16           And then lastly, I'll just repeat what I said  
17 earlier, which is we need permitting reform. I know it's  
18 being investigated over with the legislature. There may be  
19 ways at the PUC and elsewhere that we can advance  
20 permitting reform even without legislation.

21           So I'll end it there and be glad to take  
22 questions.

23           MR. GORMAN: Okay. Great. So correct me if I'm  
24 wrong, but I think I have 10 to 15 minutes for moderated  
25 discussion before I turn it over to the dais. So I think

1 if Karen and Michael want to turn on your videos, great.  
2 So with that, I guess I'll kick it off and you all can tell  
3 me if I need to turn it over the dais sooner than I do.

4           So at first, I want to start with a topic that I  
5 think wasn't really the focus of a lot of today, which has  
6 been on the much needed development of transmission with  
7 the state -- within the state, but I want to think about  
8 how we should be thinking about interregional transmission  
9 development. I think, Michael, you raised this topic at  
10 least a little bit in your presentation, Ed, also with the  
11 recognition of SunZia and TransWest.

12           And so, you know, I'm wondering from you all, I  
13 think there's a sense that we need to encourage more, but,  
14 you know, if you could talk a little bit about how much  
15 more, how do we get it done if we do in fact need it? What  
16 are those key barriers? Just a little platform to talk a  
17 little bit more about this interregional issue.

18           MR. SMELOFF: So another thing that the CAISO is  
19 doing well is this new model for a subscriber participating  
20 transmission owners. And we see interest from TransWest  
21 Express and from Sunzia. There may be other developers  
22 that are interested in this. As I think was mentioned  
23 earlier, SWIP North is still being investigated and could  
24 be, if there's economic interest on part of load serving  
25 entities, that might be something that's put into the

1 revenue requirements for California.

2           You know, absent an RTO, we are only going to be  
3 able to do some piecemeal things that can benefit  
4 California, certainly, you know, the subscriber model  
5 benefits. But if we really want to optimize future  
6 transmission across the West, we need to plan across a  
7 larger base of load. And, you know, it's challenging, but  
8 that's the way to optimize future transmission is to think  
9 about how do we serve the West in the most optimal way.

10           But absent that, and before that, the CAISO is  
11 doing the right thing with their subscriber transmission  
12 model.

13           MS. WAYLAND: Well, I couldn't agree more on the  
14 need for a Western RTO. And I think that the tide is  
15 changing a little bit, but I think there's a lot more work  
16 that -- I'm sorry, my dog is behind me, making a lot of  
17 noise here -- but I think there's a lot of work that still  
18 has to be done to convince a number of the other states  
19 that will be part of a Western RTO that it will benefit  
20 them. And I remember a few years ago -- I think California  
21 is doing a very good job in terms of starting to commission  
22 the studies that will need to show these other states that  
23 they benefit and it's not just California.

24           But I'll leave you with an anecdote that somebody  
25 from one of the northern states, a state energy offices

1 told me one day, he said, "If we're just going to join a  
2 Western RTO to eat the California duck, I'm not  
3 interested."

4 So I do think we know there will be regional  
5 benefits, but we do have to do a lot of work to convince  
6 people and to show them what those benefits are.

7 MR. COLVIN: Well, one, it sounds like Karen's  
8 dog also agrees we need a Western-wide RTO, so, you know,  
9 good doggy.

10 I think the question is not if we need this or  
11 not. I think it's going to happen. The question is: By  
12 whom and on what timeline? And I think what I get the most  
13 concerned about is what is going to be the best position  
14 for both decarbonizing the West in the most affordable way?  
15 And what's going to ensure that California has the right  
16 seat at the table at the right time?

17 When you look at where the solar generation  
18 potential is going to be, when you look at where the  
19 offshore wind is going to be, when you look at where the  
20 geothermal is going to be, California is rich in all of  
21 those resources, we're going to need a market to be able to  
22 put them in places because we are over generating and have  
23 very weird capacity prices and very weird curtailment  
24 numbers right now. But if we are going to be building out  
25 at the 3 to 4X scale that we are talking about doing so

1 without the geographical diversity of the West for that  
2 last five to ten percent of the grid, I get very, very  
3 nervous about both reliability and affordability concerns  
4 without that Western interconnect.

5           Again, I think that it's going to happen  
6 eventually because we are going to need that market  
7 eventually. It's just if we act sooner, we are going to  
8 have much stronger hand on the wheel. If we join an  
9 already established market, then we are having to bend the  
10 California policy agenda as something that we might not  
11 want to be doing.

12           MR. GORMAN: Great. Thank you. Thank you all  
13 for those comments. I'm going to keep us moving.

14           So now I'll go back to intrastate, so thinking  
15 about California. So Karen, obviously you mentioned a  
16 number of opportunities to increase the deliverability of  
17 the system somewhat as it stands today. And then Ed, you  
18 know, you mentioned a few more. I wonder if you all have  
19 seen, and this might be an impossible question so feel free  
20 to demur it, but do we have a sense of how much  
21 transmission those types of technologies might be able to  
22 avoid?

23           You know, we're talking about a massive build  
24 out, you know, Michael just said 3 to 4X of transmission.  
25 We have the CAISO plan, you know, that we've seen today.

1 Do these technologies take away half of that need? You  
2 know, kind of what are we what are we talking about in  
3 terms of its substitutability?

4 MR. SMELOFF: Will, we're looking we're looking  
5 to LBNL to help answer that question with the study you're  
6 doing on DC conversion. We know that this this project is  
7 being proposed on a 500 kV AC line from Mead to Atalanta  
8 will more than double the capacity on that line.

9 So the DC conversion is a big, big part of it, as  
10 well as the other technologies, the dynamic line rating and  
11 things that Karen mentioned.

12 MS. WAYLAND: Yeah, I'm going to leave it at that  
13 because we need studies.

14 MR. COLVIN: The one thing, to just share an  
15 anecdote in 2011-2012, I was fortunate enough to be on  
16 staff at the PUC and I was working for the lead  
17 commissioner who was assigned to energy efficiency. And  
18 even back then, which was more than a decade ago, we were  
19 approached with the question of, well, could energy  
20 efficiency fund some of these grid side efficiency  
21 technologies to make the grid better to go after the line  
22 losses? And the way that the portfolio and everything else  
23 was structured at the time, we just couldn't modify the  
24 public goods charge to make that happen.

25 But it's something that I think has stuck with me

1 ever since, which is where's the right way to charge  
2 ratepayers for it? Is it being done out of TAC? Is it  
3 done out of an efficiency bucket? Is it done out of  
4 something where everybody's going to benefit from having a  
5 more efficient grid? Who's going to pay for it? Because  
6 there's a lot of those types of cost allocation questions  
7 that pop up.

8           And I think if there are ways to assign both the  
9 need for the study of showing that everybody benefits and  
10 then also showing, and here's how these technologies are  
11 going to displace new investment, I think you go a much  
12 further way of showing then, okay, the cost responsibility  
13 should be done on a non-bypassable basis or on something  
14 that is more prorated. And so as we are figuring out how  
15 to do this, I would encourage the cost allocation question  
16 to be sort of aligned with the benefits that we receive.

17           MR. SMELOFF: Well, Mike, I'll just add to that.  
18 I think somebody mentioned storage as a transmission asset.

19           MR. COLVIN: Yeah.

20           MR. SMELOFF: And I know that storage has come up  
21 as part of the transmission planning process. We do, I  
22 think, we'll need to figure out how the cost allocation  
23 occurs between the use of storage as transmission, perhaps  
24 the use of storage as, you know, a way to arbitrage and  
25 load shift. But I think that's a good start.

1           And then there's a lot of work that needs to be  
2 done and demand response. That I guess is a topic for the  
3 next workshop.

4           MS. WAYLAND: Well, it is a topic for the next  
5 workshop but I think it's really important to think about  
6 what FERC Order 2222 is going to do, which is to pull all  
7 of these aggregated, you know, distributed distribution  
8 system resources into the bulk power system. And we can  
9 talk about it in the next workshop, too, I plan to, but I  
10 think it is. When you talk about the modeling that has to  
11 be done to tell you what resources can provide the kinds of  
12 services that you would expect from a new transmission  
13 line, you've got to think about where those aggregated,  
14 distributed energy resources are going to end up, too.

15           MR. COLVIN: Yeah, well, but I fully agree,  
16 again, with everybody, with what everybody said.

17           I guess one last point. I don't think that we  
18 are talking about, oh, we're not going to have to upgrade  
19 the transmission system if we do all these in near-term  
20 upgrades. Like it is not going to move the needle that  
21 much. But we are going to need everything in our arsenal  
22 in order to hit the goals that we say that we want to hit.

23           So we should do all the expansion of the existing  
24 system, and we should do the upgrades, and we're going to  
25 have to do parallel tracks. We should do the improvements

1 that Karen outlined. We should do the improvements that Ed  
2 outlined. There are probably people watching this webinar  
3 that say, oh, if we just do a lot of distributed energy  
4 resources, that will defray it. There are going to be  
5 other people who are going to say, oh, if we have a  
6 Western-wide grid, that's going to defray our transmission  
7 costs. The truth is that we are going to need all of these  
8 solutions stacked on top of each other.

9           Coming out of the California energy crisis, we  
10 created the Energy Action Plan, which had the loading  
11 order. And I think one of the things that the IEPR in  
12 particular can do is to provide, here's the vision document  
13 of how here's all the different things stacked together in  
14 terms of cost effectiveness and timeline, so that way we  
15 know here's where the first investment dollar is going to  
16 go and here's where the next one is going to go, but  
17 they're all going to need to happen.

18           MR. GORMAN: Yeah. No, I couldn't agree more  
19 with the all-of-the-above approach for sure.

20           So given I know, you know, it's been a long day,  
21 we're at the end, I will ask one more question and then we  
22 can turn it over to the dais to ask questions they have of  
23 their own.

24           And so for this last question, I want to turn a  
25 little bit more directly to the interconnection and

1 transmission planning process. And this speaks, I think, a  
2 little bit more to, you know, your presentation, Ed, but  
3 you know, Michael and Karen, you might also have comments  
4 here. And so, you know, we've talked a lot today about  
5 this historical disconnect between the interconnection  
6 process and transmission planning, and there seems to be a  
7 lot of strong momentum about what ISO is proposing in terms  
8 of these zonal zones, zones that will kind of incentivize  
9 where developers should connect.

10 But I do wonder, and this is what my question is  
11 about, is that obviously provides maybe stronger guideposts  
12 for developers than has happened in the past. But what  
13 happens when those zones themselves become oversubscribed?  
14 So we point this interest to these areas, and so developers  
15 reasonably flock to those places. You know, I think Neil  
16 had an anecdote earlier in the day saying that, you know,  
17 one substation had a crazy amount of gigawatts being  
18 subscribed. You could envision a similar situation here,  
19 which doesn't necessarily avoid this single file queuing  
20 process.

21 And so my question really is, you know, even with  
22 this zonal approach and this, you know, more integrated  
23 interconnection and transmission planning process, do you  
24 guys have thoughts on how to more fairly screen out  
25 requests? You know, you talked about the stick.

1           MR. SMELOFF: Well, as you go to zones, Will, you  
2 know, there's obviously a constraint on how much land is  
3 developable and how much of it is, you know, close to the  
4 point of interconnection, how long your gen tie has to be.  
5 So part of the screening process, I think, needs to be a  
6 much more rigorous look at site control. Right now it's  
7 possible to, you know, make a payment in lieu of site  
8 control. And that, I think, particularly, you know,  
9 probably for storage, it's easy to throw a lot of darts.

10           But if you have to demonstrate that you made an  
11 investment, then you're kind of de-risking the development  
12 process, then that, I think, it will act as sort of a  
13 natural, you know, streamlining or screening of applicants  
14 that are coming into the interconnection queue. And then  
15 as you go forward, you know, going from, you know, the  
16 System Impact Study to the Facility Study, you do, I think,  
17 need to make some reasonable demonstration that you're  
18 proceeding as well on the environmental permitting process  
19 and that you're making commitments on long lead equipment,  
20 et cetera, et cetera. There's a lot of things. And I  
21 think this will come out in the interconnection process  
22 enhancement, what are reasonable criteria that can be used  
23 to narrow the funnel on the queue.

24           MR. GORMAN: Karen and Michael, if you don't have  
25 any comments, it has been 15 minutes, so I will stop my

1 portion of the moderation and I'm happy to open it up.

2 MR. COLVIN: Just upload everything I'd said. A

3 COMMISSIONER MONAHAN: Alright, I'll ask all my  
4 members of the dais to come back.

5 And Elliot Mainzer had to leave, but Neil Millar,  
6 I know, is available.

7 And Neil, do you want to hop on video? You're  
8 welcome to but you're not pressured to do that.

9 So just again, raise your hand if you had any  
10 questions.

11 I'm wondering, I just want to ask one question of  
12 Karen, it's the first time I've heard of GETs, and I'm just  
13 curious about the data on some of the benefits. You make  
14 it sound very attractive. Is there any quantification of  
15 how much money has been saved in, I guess, it's the EU?

16 MS. WAYLAND: There are. Yeah, I will get you  
17 some reports. In preparation for this, I was looking at an  
18 IRENA report, you know, the European renewables, that did a  
19 whole, it's like 120-page report on dynamic line rating.  
20 So I can pull together some resources for the public record  
21 for you.

22 COMMISSIONER MONAHAN: That would be great.  
23 Thank you.

24 And then, Will, I'll ask you a question, and then  
25 I'll pass it to other members of the dais. So I'm curious,

1 the DOE innovation interconnection, I forget what you  
2 called it, something special, will there be any California-  
3 specific aspect of this, or is it sort of like national  
4 writ large exchange? I mean, because California, we're all  
5 facing similar issues.

6 MR. GORMAN: Yeah, so that, I mean, that's where  
7 I was going to go with this last point, is that we are not  
8 doing any type of region-by-region segmentation in the work  
9 necessarily, so there won't be specific, you know,  
10 recommendations for PJM as compared to ISO New England, as  
11 compared to CAISO California. But I think the hope, and it  
12 really is our experience that, you know, the issues that  
13 California is facing, you know, this state might be more  
14 advanced. You know, it's further along in its transition  
15 as compared to some other regions. I mean, you see that  
16 especially with the solar penetration, and that's only  
17 expected to grow.

18 And so I think because of that, or I guess  
19 because other regions are going to catch up, that this  
20 problem of interconnection is not going to be one  
21 necessarily unique to California, even if the conversations  
22 are happening more so in California today than in other  
23 regions.

24 So, you know, our hope is that the solutions that  
25 come out in the reports and our conversations are

1 applicable to a wide variety of regions, because we think  
2 that they are not really state specific per se. Obviously,  
3 there are nuances to each state, and there's different  
4 laws, you know, and regulations that affect different  
5 areas, but we hope it's more universal than that.

6 But I guess the short answer is no. You know,  
7 we're not going to have this great California-focused  
8 report. But we do hope that our recommendations are  
9 generalizable.

10 COMMISSIONER MONAHAN: I don't see any hands  
11 raised, so I'm just going to continue until I see one, or  
12 somebody.

13 Oh, actually, Vice-Chair Gunda.

14 VICE CHAIR GUNDA: If you want, you should go.  
15 I'll go after you.

16 COMMISSIONER MONAHAN: Well, this will be a  
17 really fast one.

18 I'm wondering also, Will, on that map that you  
19 showed of the projects that applied for interconnection and  
20 why, you know, California was kind of, I would say,  
21 commensurate with the West in terms of the number of other  
22 share of applications that actually made it into a project.  
23 What is unique about the Western United States?

24 MR. GORMAN: Yeah, again, at this point, I would  
25 be speculating a bit here, but I think it might somewhat be

1 related to my earlier point, which California, and the West  
2 generally, was earlier in the development process of solar  
3 and the smaller interconnecting resources. And so the  
4 statistic that I shared there is focused on projects that  
5 applied for the queue between 2010 and 2018. And we do  
6 that because, obviously, there's active projects trying to  
7 work their way through the queue that may be entered in  
8 2018, and we don't really want to include that in that  
9 percentage because they might come online, ultimately.

10           And so then if you think about, you know, I think  
11 a lot of these challenges are renewable-related, given the  
12 locations where renewables are getting sited, they're also  
13 smaller, that you could see the West having a worse  
14 statistic kind of based on when we did that calculation,  
15 only related to the fact that they have been earlier in the  
16 game a little bit, to that solar development, I think, in  
17 particular.

18           But that's somewhat speculation by me, but it  
19 probably tells at least part of the story.

20           MR. SMELOFF: Will, are you seeing/did you look  
21 at the size of the projects that are seeking  
22 interconnection? It seems to me, from looking at the  
23 current queue, that we're seeing larger and larger projects  
24 now submitting interconnection applications,  
25 interconnecting at 230 and even 500 kV.

1 MR. GORMAN: Yeah, we've done a little bit of  
2 that, like we looked at that same statistic on a capacity  
3 basis rather than a project percentage basis, and the  
4 number doesn't change that much, but that's the national  
5 statistic. We haven't done that by region. But we could,  
6 of course, you know, do that type of stuff. We're always  
7 looking for new ideas.

8 Again, our goal with that particular project is  
9 transparency; right? I mean, I think there hasn't been a  
10 lot of great data on this. We're just consistently trying  
11 to add more and more information out there for folks to  
12 digest.

13 VICE CHAIR GUNDA: Thank you.

14 COMMISSIONER MONAHAN: Mr. Vice Chair?

15 COMMISSIONER MONAHAN: Yeah. Commissioner  
16 Monahan, thank you. And I just wanted to say wonderful  
17 panel. Again, a lot of good information.

18 So I think I have a comment and I think I'll kind  
19 of come into the question. The whole day we've heard some  
20 really good things in terms of recognition of the statewide  
21 efforts, including some of the, you know, reforms that the  
22 CAISO is doing and how we could continue to, you know, kind  
23 of get behind them and then kind of help move forward,  
24 whether it's the interconnection reform, whether it's the  
25 broader transmission planning reform. So I just like, you

1 know, love that kind of broad coalition and agreement on  
2 how to move forward on those elements.

3           And I think I also heard some technological  
4 solutions and process solutions we could probably put in,  
5 including the, you know, basically, DC conversion, the  
6 power and the wire reconducting and such. So I think all  
7 of that seems to be good, including the transmission zonal  
8 approach.

9           So one thing I think Michael kind of uniquely  
10 raised is kind of like a vacuum on coordination between  
11 potentially the state agencies and kind of where we might  
12 have some cracks. So I wanted to see, Michael, if you  
13 could expand on that? Because I've heard this now a few  
14 different places, including some oversight hearings on the  
15 need for a coordinating entity. Are we kind of -- you  
16 know, what are we talking about? Is it that the existing  
17 processes are not transparent and then not clear? Are we  
18 talking about things falling through the cracks between  
19 different processes or not having stakeholders having the  
20 opportunity to shape them? Would love to hear what your  
21 thinking is there.

22           MR. COLVIN: I appreciate the question, Vice  
23 Chair Gunda. Thank you so much. Two quick responses.

24           The first one is we had this type of ombudsman  
25 role in California to help get a lot of projects built

1 during the Recovery Act timeframe. It was some special  
2 liaisons coming out of the Governor's Office, and it  
3 literally was just doing the crosswalk of, hey, wait a  
4 second, are you aware that if you miss this approval by  
5 three weeks, because you're asking for a whole tour review,  
6 it's going to throw off this queue study by six months?  
7 Did you know that? I'm not telling you how to vote, I'm  
8 not telling you how to view anything, but are you aware  
9 that this is the timeline?

10           And a lot of times folks just didn't know. It  
11 was just really, you know, folks fall into their own  
12 decision-making, you know, pace and, you know, people get  
13 sick and go on vacation and everything else happens and  
14 they don't necessarily have the vision of, wait a second, a  
15 three week delay is going to all of a sudden turn into six  
16 months because of this snowball effect.

17           Now sometimes there's a really good reason to do  
18 a three-week delay. I am not trying to jam anybody. But  
19 the part of the coordinating role of understanding that  
20 dashboard, of doing that, is just to make certain that  
21 everybody has the information so that way the decisions are  
22 being made with kind of full information.

23           And having been on the receiving end of that when  
24 working at the PUC, it was very, very helpful to be able to  
25 say, oh, yeah, we can prioritize getting this contract out

1 over this one because we didn't know that there was this  
2 timeline attached to it.

3 I say this again, as much respect as possible,  
4 I've seen a huge amount of improvement in the interagency  
5 coordination, both anecdotally and visibly with the MOU and  
6 everything else. But there are going to be turf wars  
7 between the agencies. That just always happens. And so  
8 whether it's one of the people who are on the dais today  
9 want to raise their hands, if it is, you know, somebody  
10 else as a part of the administration as a neutral third  
11 party, I don't care. It doesn't really matter to me. But  
12 I think it's more about how do we deploy the information  
13 and less about who's taking their time to do this one  
14 individual aspect.

15 Not the most satisfying of answers, but I just  
16 want to recognize it.

17 MR. SMELOFF: Michael, your idea of an  
18 implementation plan makes a lot of sense. We have 46  
19 projects that are coming out of the Transmission Plan, 24  
20 reliability, 22 policy driven, \$9.5 billion. You need to  
21 have a dashboard and it needs to go all the way up to the  
22 governor. He needs to know what's happening because  
23 ultimately he's the accountable one for getting all of this  
24 done and implementing SB 100. So an implementation plan  
25 with a lot of visibility and sort of a dashboard for high

1 level policymakers so they understand what's happening and  
2 what isn't happening.

3 MR. COLVIN: And I guess, Ed, the last part of  
4 that is that I think it's in the customer/ratepayers best  
5 interests. Because one thing that we learned coming out of  
6 the ARRA timeframe was the more that we were transparent  
7 about that, the more federal dollars flowed to California.  
8 And so the more that we can prime ourselves being ready to  
9 take advantage of all the production tax credits and all  
10 the investment tax credits that are out there for new  
11 transmission and not just the generation projects, the  
12 better off we're going to be.

13 I recognize that the recommendation I'm making  
14 here is going to require some staff and it's going to  
15 require a website and some dashboards. That is a pittance  
16 of an investment compared to the ratepayer savings that we  
17 would receive. And I think it's the biggest slam dunk BCP  
18 that any of you could write.

19 VICE CHAIR GUNDA: Thank you, Michael, really  
20 appreciate that and jumping in, I think that's very  
21 consistent with, you know, some of the problem and  
22 recognition and some of the irons in the fire, so really  
23 appreciate those comments and we'll continue to move  
24 forward on that.

25 So if, Commissioner Mohan, I can ask a quick

1 follow up to Will, if you're okay with that?

2 COMMISSIONER MONAHAN: Yeah, but can I build on  
3 this dashboard before we leave that concept?

4 VICE CHAIR GUNDA: Sure.

5 COMMISSIONER MONAHAN: So, you know, I asked the  
6 last panel, are there any examples across the country of  
7 like a transparent -- more transparency around, you know,  
8 process and applications and where they are and what the  
9 whole lips are and the answer was, no, not really. And I'm  
10 just wondering, like a dashboard sounds like we have to  
11 have a little more transparency, which we have no good  
12 models for yet.

13 MR. COLVIN: We have sort of a model.

14 COMMISSIONER MONAHAN: And is that sort of  
15 consistent or do you guys have -- do you have some  
16 suggestions for what could be a good model?

17 MR. COLVIN: We have a quarterly transmission, I  
18 forget what it's called, but a transmission meeting that  
19 occurs that's led by the CAISO and with the PUC. And the  
20 transmission owners, you know, come up and they report on  
21 the project. So you have a quasi dashboard that's  
22 occurring already but it's at a lower level. And there's a  
23 lot of frustration in those meetings because, you know, the  
24 answers are sometimes what will get back to you.

25 So there needs to be something more than that

1 that happens just quarterly, but that's sort of a good  
2 starting point for getting a dashboard.

3 COMMISSIONER MONAHAN: So it would be using those  
4 meetings, collecting the data from it, and then having it  
5 be more publicly accessible through some kind of forum?

6 MR. COLVIN: Yeah. And Commissioner Monahan, I  
7 will put into the docket for this, it's already in a  
8 different Energy Commission docket, but I'll make certain  
9 it's in this IEPR docket, the full growing the grid report.  
10 And we have some examples of both other localities that  
11 have this, but also just the types of information and data  
12 that we think should be excluded.

13 My guess is that each of the agencies that are  
14 out there have a certain amount of information that if we  
15 just layered them on top of each other, not creating  
16 anything new, but just put it all at the same place, we  
17 would see things that we're not seeing right now. And so  
18 it could be something as simple as an Excel spreadsheet  
19 that is up on a website. It could be something much more  
20 infographic based or anywhere in between.

21 You know, this is what Tableau was made for.  
22 This is not that hard. The data is something that you all  
23 have. I think the dashboard is designed, one, for internal  
24 or inter-agency coordination, but two, the developer  
25 community to be able to see, oh, here's where I am in this

1 queue and I'm going to be able to make this financing  
2 window, or I need to get this done, or I have to bail. It  
3 is so important for them to be able to have that level of  
4 transparency that it was the single number one theme that  
5 we heard in all of those stakeholder interviews was just  
6 let us know where we're at and we can manage the risk  
7 better. And, again, the more managed the risk is, the  
8 cheaper the price is going to be for the customer.

9 MR. GORMAN: And the only thing I will add in  
10 this conversation, because it's not about transparency,  
11 it's a less high level, I think, than the conversation  
12 we've been having, but I will agree with the panelists that  
13 came before us about I wouldn't say there is another region  
14 that is necessarily offering a super transparent process.

15 And one aspect of the DOE program that I am a  
16 part of is thinking more seriously about what happens pre-  
17 request. Before you enter an interconnection queue, you  
18 know, what information would a developer want or need to  
19 have in order to make their choices and decisions with more  
20 accuracy or precision?

21 I think the zonal approach is actually one step  
22 in the transparent kind of solution. They're telling you,  
23 alright, these are the regions that we're going to try to  
24 connect a bunch of people and we're going to be proactive  
25 about transmission. I haven't seen actually a lot of that

1 necessarily in other regions.

2           But I will say there's still a gap, at least from  
3 what we're hearing, you know, from developers around, well,  
4 what can we expect costs to be particularly in that  
5 process? And the cost information is particularly non-  
6 transparent. And ultimately, hosting capacity is  
7 important, like how many gigawatts, you know, can we  
8 install in a certain region? But the developers really are  
9 on the hook for the costs.

10           It's a little bit different across regions. It's  
11 a little bit different actually in California than in other  
12 regions. But being more transparent with some of that  
13 information before you make an interconnection request  
14 could be a part of the solution here.

15           VICE CHAIR GUNDA: I think I'll just comment on  
16 one thing and maybe, Will, just kind of have a question  
17 because we had strong comments on this. But for the last,  
18 you know, six months or so, the agencies have, you know,  
19 including CAISO, CPUC, CEC and, you know, GO-Biz like what  
20 Rohimah Moly mentioned earlier today about the TED Task  
21 Force, we are beginning to bring all of the data streams  
22 together. I think the question right now is to how to make  
23 it public, which parts can we make public? So there has  
24 been questions.

25           But I just want to, you know, reiterate to you

1 all that the agencies collectively see this as a really  
2 good opportunity, as well, and have solutions already, you  
3 know, ramped up to hopefully, you know, kind of bring them  
4 complete in the next few months. So just wanted to lay  
5 that out for you guys.

6 But one question, Will, you know, we've kind of  
7 talked about today the opportunity with existing  
8 infrastructure, you know, transmission through the  
9 reconductoring and others, increasing the capacity. And  
10 all roads on the discussion point to LBNL, I mean, LBNL is  
11 solving that. Could you weigh in on that a little bit on,  
12 you know, what the research is and what the opportunity is?  
13 I've heard, you know, hundreds of gigawatts of opportunity.

14 MR. GORMAN: Yeah. So, you know, the challenge  
15 of being at a national lab is that I have peers, you know,  
16 in the 50s to 100s of people, and so I am actually not the  
17 particular researcher that is focused on the reconducting  
18 here. That's been being led by my colleague, Amol Phadke,  
19 so I cannot give you numbers. But what I can do is connect  
20 you and provide information that his team has been actively  
21 working on in terms of reconductoring.

22 That's why I asked the question in the panel  
23 because, you know, I was not aware of the numbers, but you  
24 are right, that that is something we are working on. It  
25 just isn't the team that I'm supporting, but I can follow

1 up with you.

2 MR. SMELOFF: Will, the one number that stuck in  
3 my mind, I met with Amol and spent some time with him, was  
4 that the -- you know, typically HVDC are long lines, like,  
5 you know, TransWest Express. But now we're seeing it more  
6 happening in Europe on shorter distances. And they were  
7 saying that sort of the crossover point is about 130  
8 kilometers, 120 kilometers the DC converter stations become  
9 cost effective. So there are more opportunities for HVDC.  
10 Yeah, I totally agree with that.

11 MR. GORMAN: Yeah, I totally agree with that, the  
12 opportunities are for sure there. I cannot give the  
13 number, though, to the Commissioner, unfortunately.

14 COMMISSIONER MONAHAN: Commissioner Douglas?

15 COMMISSIONER DOUGLAS: So I'm just reflecting on  
16 taking us back for a moment to the conversation on  
17 interagency coordination and what information can and  
18 should be made publicly available and when. And I just  
19 wanted to share a few perspectives.

20 I was Chair of the Energy Commission when the  
21 REAT (phonetic) and REPEG (phonetic) processes that Michael  
22 Colvin mentioned were implemented and took part in a lot of  
23 that effort. I think there were some important  
24 distinctions between the mobilization, which was very  
25 successful to organize state and federal agencies to get a

1 fairly, in comparison, fairly manageable number and set of  
2 renewable energy projects through state and federal  
3 processes on a timeline that was relatively parallel. And  
4 yes, there were permitting issues that was mainly focused  
5 on permitting. There were interconnection issues at a  
6 different scale. There were other challenges.

7           You know, I think just a couple points. One is  
8 that the real troubleshooting, you know, the real kind of  
9 conversations about, look, your three-week slippage here  
10 snowballs into a three-month slippage there, so can you  
11 please prioritize, those conversations were not public.  
12 They were interagency. They were not put on any kind of  
13 dashboard. I don't think there should be an expectation  
14 that they would be. I think the quarterly meetings that Ed  
15 Smeloff mentioned are a great forum for some of this. You  
16 know, it's not my decision. I'm open-minded about whether  
17 and what more might need to happen to improve that.

18           But I just want to be really clear that a lot of  
19 times it's market-sensitive information. There could be  
20 confidential information. And the agencies need to have  
21 that space to be able to prioritize and communicate.  
22 That's a little different than what people outside can and  
23 should get and when and on what interval.

24           The other point I want to make just for all of us  
25 to reflect on as we think about our processes is that I

1 truly don't think we should cut and paste the REIT-REPEG  
2 process from 2008, '09, '10 into today's environment. I  
3 think that the issues that we face today are different in  
4 terms of scale, level of complexity, number of players, and  
5 more. And it's really a question of what's the process  
6 around transmission interconnection and how do we improve  
7 it? How do we need to be coordinated around that? What  
8 about permitting? What about planning?

9 I think we have made tremendous progress in how  
10 the agencies communicate, plan, and work. I think the GO-  
11 Biz TED Task Force effort probably does a lot more than  
12 most people will ever get to see and, you know, just  
13 because it is that kind of interagency coordination. And  
14 I'm the last person who would say more and better isn't  
15 required because, you know, we all see the scale of what  
16 we're trying to do, and more and better has always been  
17 required.

18 And so, you know, I want to express a lot of  
19 openness to ideas for how the processes can be better, but  
20 I just really wanted to speak up. Having been in a lot of  
21 those early processes, they were great. They were ripe for  
22 what we encountered. They were largely very successful and  
23 there's a lot we can learn from and leverage from them but  
24 it's not a copy-paste. It's what can we learn from them  
25 and also what's different? And I think there's a lot of

1 interest in that here on the dais and in the overall  
2 dialogue, so thank you.

3 COMMISSIONER MONAHAN: Thanks, Commissioner  
4 Douglas.

5 I just want to make sure to see if anybody else  
6 on the dais has a comment or question before we turn to  
7 public comment. Alright, I don't see any more hands  
8 raised. One last second.

9 Alright, I'll turn it over to Heather for public  
10 comment. Thanks, everybody, for participating today.  
11 Really appreciate it, well, this panel and all the panels  
12 that have come before today. It was really an informative,  
13 action-packed day, lots of information to process.

14 MS. RAITT: Great. Thank you, Commissioner. I  
15 echo your thanks to all the panelists and particularly that  
16 last panel there.

17 So we are moving on to public comment. And if  
18 you are on Zoom and -- well, we're all on Zoom, but if you  
19 are on the Zoom platform, please press that raise hand to  
20 let us know that you would like to make comments. And if  
21 we are on the phone, you can press star nine.

22 And so I will go to our -- we have three hands  
23 up. And so first is Kate Kelly.

24 So Kate, I'm going to open up your line? And  
25 then if you could state your name and spell it for the

1 record and your affiliation? And so the line is open. You  
2 can go ahead.

3 MS. KELLY: Good afternoon. Can you hear me?  
4 Okay.

5 MS. RAITT: Yes.

6 MS. KELLY: Terrific. I'm Kate Kelly, K-A-T-E  
7 K-E-L-L-Y, and I'm here on behalf of Defenders of Wildlife.

8 Thank you to the virtual dais and all the  
9 excellent panelists today. This was a great conversation.  
10 It was much needed. And I appreciate the thoughtful input  
11 from everybody.

12 The zonal planning really does provide a platform  
13 for the transformational change that we need to see moving  
14 forward to meet both our transmission goals and all of our  
15 energy deployment goals. And so we appreciate the ISOs  
16 vision and moving that forward.

17 Part of that value is and ability within the  
18 zonal planning is to be able to take our full toolbox of  
19 planning tools and apply them to meet the needs of  
20 identifying where transmission should be built, where  
21 renewable energy should be built, and how we're going to  
22 plug it all in together.

23 And the CEC's land use screens that have been  
24 developed, through the hard work of Erica Brand and her  
25 team, our key to that. It's how they flow into the busbar

1 mapping, into the IRP and the TPP and moving forward. That  
2 allows us to both identify, plan, and invest in lease  
3 conflict zones for renewable energy development and  
4 investment, which will in turn streamline development by  
5 reducing delays that come from siting issues as well as  
6 litigation costs. And then also reduce costs to rate  
7 payers through having less mitigation requirements as well  
8 as certainty in the process.

9           So we think that it's really an important step  
10 and a key component as part of that planning process. And  
11 it also will provide the top-to-bottom policy alignment  
12 that's been talked about today so that we're not just  
13 meeting our energy policy needs, but also meeting our state  
14 and Western states' equally aggressive environmental goals  
15 of protecting our environment while balancing renewable  
16 energy development, including meeting the goals of 30 by  
17 30.

18           So thank you for the work today. Thank you for  
19 the forward thinking, particularly with the zonal planning.  
20 And we look forward to continuing to participate in the  
21 process.

22           MR. WENDER: Heather, you are on mute. You may  
23 want to double check that.

24           MS. RAITT: Oh, my gosh. Sorry. Okay. Thank  
25 you.

1           Next is Claire Broom. If you want to go ahead,  
2 your line should be open.

3           MS. BROOME: Good afternoon. Can you hear me?

4           MS. RAITT: Yes.

5           MS. BROOME: Okay. Claire Broom, C-L-A-I-R-E  
6 B-R-O-O-M-E, representing 350 Bay Area. Thank you very  
7 much for an interesting and thought-provoking day. And it  
8 absolutely pulled out the severe constraints on siting and  
9 permitting as well as timeline for new transmission.

10           And I wanted to hold up what Michael Colvin said  
11 about the importance of making cost effective decisions as  
12 you consider how to move forward, specifically  
13 incorporating the cost of transmission into the estimates  
14 of the cost for new resources is particularly critical. As  
15 the CPUC has shown, the cost of transmission is a  
16 substantial and rapidly accelerating part of California  
17 electricity rates.

18           San Diego now has a transmission access charge of  
19 \$0.06 per kilowatt hour, basically more than the cost of  
20 the new generation. And the studies that have been cited  
21 in support of the regional transmission organization  
22 generally don't incorporate the cost of transmission  
23 required to get those cheap Wyoming wind resources to  
24 California.

25           So I guess my comment is to strongly urge the

1 Energy Commission, as you go into the new IEPR, to look at  
2 costs in a way that incorporates both the generation and  
3 transmission cost of resources very specifically to have a  
4 level playing field so that medium-scale energy resources  
5 on the distribution grid are considered when you look at  
6 least cost options for development. I think we will  
7 obviously need to optimize both, but in the current  
8 environment, RESOLVE does not have a differentiation  
9 between in front of the meter distribution grid resources  
10 and those resources requiring transmission. So it biases  
11 against selecting distribution grid resources.

12 Similarly, the TAC is charged to all investor-  
13 owned utility customers, meaning that there is no cost  
14 advantage for a distribution grid resource. I know we're  
15 going to get to the distribution grid in the next workshop,  
16 but I urge you as you go into the new IEPR to do a real  
17 level playing field which gives an accurate assessment of  
18 distribution grid resources where there will be fewer  
19 difficulties in permitting, et cetera.

20 Thank you very much.

21 MS. RAITT: Next -- well, first, I'll just say  
22 again, if you would like to make comments, please press  
23 that raise hand button on Zoom. And if you're on the phone  
24 and would like to make comments, press star nine.

25 So next is Mariko. And please spell your name

1 and tell us your affiliation, if any, and your line is  
2 open.

3 MS. GERONIMO AYDIN: Hello, my name is Mariko  
4 Geronimo Aydin. It's M-A-R-I-K-O, with Lumen Energy  
5 Strategy. Thank you for this workshop and to all of the  
6 speakers.

7 We just completed the Energy Storage Procurement  
8 Study for the CPUC. I'll first say that my views here are  
9 my own and not necessarily those of anyone at the CPUC.  
10 Our report shows some of the incredible achievements you  
11 all have made in scaling up storage connected to the  
12 transmission system, and I want to first acknowledge that.

13 In my comment, I want to underscore the  
14 importance of the WDAT interconnection process and urge you  
15 to make sure it's not too much of an afterthought. I  
16 especially appreciate the utilities presentations earlier  
17 today and CAISO's comments that touch on that and the  
18 difficulties they see. It is in an awkward jurisdictional  
19 space.

20 In the storage study, we observed that needs are  
21 growing for clean energy resources interconnected closer to  
22 the customer and closer to communities on the grid. We  
23 know, for example, that no amount of transmission  
24 interconnected resources are going to help when a  
25 resilience failure happens on the distribution grid.

1           At the same time, we find evidence of barriers to  
2 scalable resource development on the distribution system.  
3 And here I'm talking about resources placed in front of the  
4 utility's customer meter and behind-the-pool transmission  
5 facility, and barriers in those resources being able to  
6 value stack services that they are uniquely positioned to  
7 provide both to the distribution system downstream and the  
8 transmission system upstream.

9           So there's a space here that could be opened up  
10 for innovative resource solutions here, and I urge you to  
11 consider that. Thank you.

12           MS. RAITT: The rest, all of you, if you'd like  
13 to make a comment, press the raise hand button on Zoom, or  
14 press star nine if you're on the phone. Give it another  
15 second here. Alright, I'm not seeing any more comments.

16           But before I turn it back to Commissioner, let me  
17 just remind everybody that we also welcome and encourage  
18 written comments. And I know we heard about a bunch of  
19 things that we wanted to hear, get more information on the  
20 record, and so written comments are due on May 23rd. And  
21 all the information for doing that is in the notice.

22           So with that, I think we're done with public  
23 comment, and I will turn it over to Commissioner Monahan.  
24 Thank you.

25           COMMISSIONER MONAHAN: Great. Well, thanks,

1 Heather. Thanks to everybody who's participated today, and  
2 I really want to thank my colleagues on the dais in  
3 particular. It's been a long day, and I just really  
4 appreciate that everybody has stuck with it and look  
5 forward actually to working with all of you on the next  
6 step, which is preparing the report.

7 But I just want to highlight, you know, folks  
8 that were on the dais throughout the day. We had, from  
9 CAISO, President Mainzer, and Neil Millar from the PUC. I  
10 still see Chair Reynolds and Commissioner Douglas. We also  
11 had the other Commissioner Reynolds on the phone for part  
12 of the day. Of course, my IEPR team member, Vice Chair  
13 Gunda, who has been a rock and whose brain I love to pick  
14 over and over again, as well as Commissioner McAllister,  
15 who is also going to be hopefully weighing in in a BK  
16 appropriate way in all of this, and Commissioner Gallardo,  
17 who was here for a bit in the morning.

18 So we heard a lot of good ideas. I want to  
19 emphasize a point that Vice Chair Gunda made, which is just  
20 so much support for what CAISO is already doing, the zonal  
21 approach, I think Ed Smeloff called it transformational,  
22 and just that there's been a lot of great work, and so  
23 we're starting from a strong building point.

24 We heard a lot of specific ideas about more we  
25 can do around transparencies, ways to whittle down the

1 queue, including encouraging customers to pay more  
2 attention to the zones where there's capacity, use  
3 performance-based incentives, grid enhancing technologies,  
4 which I love that term GET, and a little bit at the very  
5 end of the day around a Western RTO.

6 So as Heather said, we really just encourage  
7 folks to give written comments. This is one day for a big  
8 weighty topic, but we want to get more information into the  
9 hopper ideas that we can consider.

10 And next week we're going to be turning to the  
11 distribution side, which I actually feel is more in my  
12 sweet spot in terms of we're facing a lot of issues on  
13 building out charging infrastructure in order to meet the  
14 state goals. Lots of opportunity there in terms of doing  
15 it in a way that's grid enhancing, I would say, grid  
16 friendly, and just some opportunity for improving our  
17 processes as well.

18 So if any other member of the dais wants to make  
19 a comment, you're welcome to. Just raise your hand.

20 Vice Chair Gunda?

21 VICE CHAIR GUNDA: I want to just, quickly, just  
22 wanted to say thanks to all the team and just to you for  
23 envisioning this. I think this was excellent. I think  
24 great day. We're just getting started. I thought we had a  
25 third segment today and going into the evening. This is

1 great. So thank you for organizing this. I just wanted to  
2 give you kudos and just admire your leadership on this,  
3 bringing everybody together. Thank you.

4 COMMISSIONER MONAHAN: Thank you. I was joking a  
5 little bit about having another panel, I think. I think  
6 we're exhausted.

7 I see Chair Reynolds has her hand up.

8 PRESIDENT REYNOLDS: Thank you. Yeah, I also  
9 just wanted to thank all the panelists, the members of the  
10 public who listened in, and thank you, Commissioner  
11 Monahan, for leading this. This has been a fantastic  
12 dialogue. There were so many things to think about, good  
13 ideas. I look forward to the next steps in the process  
14 because I think this really framed a lot of issues and  
15 brought a lot of interesting ideas into the, into this  
16 process.

17 So thank you very much for setting it up in the  
18 way that you did, Commissioner Monahan. And again, thanks  
19 to all the panelists.

20 COMMISSIONER MONAHAN: Great. Thank you, Chair.  
21 And Neil?

22 MR. MILLAR: Oh, thank you. Yes. Actually,  
23 Elliot Mainzer asked me to apologize on his behalf that he  
24 couldn't stay for the rest of the day. He did have a  
25 pressing family obligation yet to attend to.

1           He did ask me to pass along how much he  
2 appreciated the day and the fantastic dialogue. He was  
3 able to listen to most of it, so he really appreciated  
4 that.

5           And also both he and I are really looking forward  
6 to continuing to work with all of you and our industry  
7 partners on working on these critical issues and achieving  
8 the state's clean energy goals. So I just wanted to pass  
9 that along, so thank you very much.

10           COMMISSIONER MONAHAN: Great. Thanks so much,  
11 Neil.

12           Well, that wraps it up. I hope folks can join  
13 next Tuesday when we'll turn to the distribution grid and  
14 I'm sure it'll be an equally interesting day. Alright,  
15 thanks, everybody. Thanks, all my fellow members of the  
16 dais, for joining.

17           (The workshop adjourned at 4:40 p.m.)  
18  
19  
20  
21  
22  
23  
24  
25

## CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of July, 2023.



---

MARTHA L. NELSON, CERT\*\*367

## CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

July 17, 2023