

DOCKETED	
Docket Number:	23-IEPR-05
Project Title:	Accelerating Distribution Grid Connection
TN #:	251616
Document Title:	Transcript - COMMISSIONER WORKSHOP ON THE CLEAN ENERGY INTERCONNECTION - ELECTRIC DISTRIBUTION GRID
Description:	5.9.2023 - Transcript - COMMISSIONER WORKSHOP ON THE CLEAN ENERGY INTERCONNECTION - ELECTRIC DISTRIBUTION GRID
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	8/14/2023 7:39:57 PM
Docketed Date:	8/14/2023

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of:

IEPR Commissioner Workshop) Docket No. 23-IEPR-05
) Clean Energy
) Interconnection
) Electric
) Distribution Grid

COMMISSIONER WORKSHOP ON THE CLEAN ENERGY
INTERCONNECTION - ELECTRIC DISTRIBUTION GRID

REMOTE ACCESS VIA ZOOM

TUESDAY, MAY 9, 2023

10:00 A.M.

Reported by:
Martha Nelson

APPEARANCESCOMMISSIONERS

Patricia Monahan, IEPR Lead Commissioner, CEC

Siva Gunda, Vice Chair, CEC

J. Andrew McAllister, Commissioner, CEC

Alice Busching Reynolds, President, CPUC

Genevieve Shiroma, Commissioner, CPUC

John Reynolds, Commissioner, CPUC

Darcie Houck, Commissioner, CPUC

CEC STAFF

Heather Raitt, Director, IEPR

David Erne, Deputy Director, Energy Assessments Division

Ben Wender, Advisor to Commissioner Monahan

MODERATORS

Cliff Rechtschaffen, Former CPUC Commissioner

Ethan Elkind, UC Berkeley

PANELISTS

Chris Walker, GRID Alternatives

Simon Baker, CPUC

Mark Esquerra, SCE

Satvir Nagra, PG&E

APPEARANCESPANELISTS (cont.)

Matt Belden, SDG&E

Harry Marks, SMUD

Matt Coldwell, CPUC

Brandon Tolentino, SCE

Matt Ventura, PG&E

Nadim Virani, PG&E

Erika Schimmel-Guiles, SDG&E

Sherise Blackwood, SDG&E

Frank Haris, CMUA

Francesca Wahl, Tesla

Rachel McMahon, Grid Power Consulting, LLC
representing California Energy Storage Alliance

Henrik Holland, Prologis

Corey Smith, Housing Action Coalition

Grace Relf, Hawaii Public Utilities Commission

Matthew Tisdale, Gridworks

Karen Wayland, GridWise Alliance

PUBLIC COMMENT

Tom Kabat

Claire Broome, 350 Bay Area

Michael Bergey, Distributed Wind Energy Association

APPEARANCESPUBLIC COMMENT (cont.)

Allie Detrio, Microgrid Resources Association

Diego Quevedo, Daimler Truck North America

Bill Boyce, West Coast Clean Transit Corridor

Cole Jermyn, Environmental Defense Fund

Vincent Wiraatmadja, Schneider Electric

Wayne Morgan

Lorenzo Kristov

Daniel Drazan, Enchanted Rock

INDEX

	<u>PAGE</u>
Introduction	
Heather Raitt, California Energy Commission (CEC), IEPR Director	8
Opening Remarks	
Patty Monahan, 2023 IEPR Lead Commissioner, CEC	9
Siva Gunda, Vice Chair, CEC	
J. Andrew McAllister, Commissioner, CEC	
Alice Busching Reynolds, President, CPUC	
Genevieve Shiroma, Commissioner, CPUC	
John Reynolds, Commissioner, CPUC	
Darcie Houck, Commissioner, CPUC	
1. How IEPR Fits Into CEC Activities and Priorities	20
David Erne, CEC	
2. The Importance of Timely Grid Connections and Access to Clean Energy Resources for All	30
Chris Walker, GRID Alternatives	
Questions from leadership on the virtual dais for David Erne and Chris Walker	
3. Panel: Overview of Distribution System Planning and Ongoing Improvements	47
A. Simon Baker, CPUC	
B. Joint presentation: Mark Esguerra, SCE; Satvir Nagra, PG&E; and Matt Belden, SDG&E	
C. Harry Marks, SMUD	
Questions from leadership on the virtual dais to presenters	

INDEX

	<u>PAGE</u>
4. Panel: Connection Processes and Timelines Today and Efforts to Improve	90
A. Matt Coldwell, CPUC	
B. Mark Esguerra and Brandon Tolentino, SCE	
C. Matt Ventura and Nadim Virani, PG&E	
D. Erika Schimmel-Guiles and Sherise Blackwood, SDG&E	
E. Frank Harris, CMUA	
Questions from leadership on the virtual dais to presenters	
Closing Remarks	141
Welcome Back	141
Heather Raitt, CEC	
Remarks from the Dais	142
5. Panel: Developer Perspectives and Recommendations to Improve Connections	143
A. Moderator: Cliff Rechtschaffen, Former CPUC Commissioner	
B. Francesca Wahl, Tesla	
C. Rachel McMahon, Grid Power Consulting, LLC (representing CESA)	
D. JT Steenkamp, Prologis	
E. Corey Smith, Housing Action Coalition	
Moderated discussion	
Questions from leadership on the virtual dais to presenters	

INDEX

	<u>PAGE</u>
6. Panel: Technologies, Processes, and Regulatory Strategies to Improve Distribution System Connections	206
A. Moderator: Ethan Elkind, UC Berkeley	
B. Grace Relf, Hawaii Public Utilities Commission	
C. Matthew Tisdale, Gridworks	
D. Karen Wayland, GridWise Alliance	
Moderated discussion	
Questions from leadership on the virtual dais to presenters	
Public Comments	252
Closing Remarks	273
Adjournment	278

1 workshop.

2 We also welcome written comments, and those are
3 due by May 23rd, and the notice gives you all the
4 instructions for how to do that.

5 So then finally, as a reminder to all of us
6 today, if you could introduce yourself when you start to
7 speak so that folks on the phone can follow along more
8 easily?

9 And then with that, I'll turn it over to
10 Commissioner Patty Monahan who is the Lead for the 2023
11 IEPR.

12 Thank you, Commissioner.

13 COMMISSIONER MONAHAN: Great. Thanks, Heather.

14 Well, I want to thank my fellow energy agency
15 colleagues for joining me today on the dais. From the
16 Public Utilities Commission, we have Chair Reynolds and
17 Commissioner Reynolds. And I'm also joined by Vice Chair
18 Gunda. And I see Commissioner McAllister popping up, so
19 that's great.

20 I want to express my appreciation for my Advisor,
21 Ben Wender, the Vice Chair Gunda's staff, to Heather and
22 her team for organizing this series of workshops. They've
23 done a bang up job and it's a packed agenda today.

24 So as I said last week at the workshop on the
25 bulk grid, this year's Energy Policy Report is focusing on

1 speeding the interconnection of clean energy resources with
2 the grid. This is a topic of keen interest, I would say,
3 across all of our energy agencies, and also with California
4 Air Resources Board. The Air Resources Board is setting
5 stringent standards across all of the sectors. The one
6 that I've been the most closely following is
7 transportation. They're basically setting policies so that
8 all vehicles transition to zero emission as soon as
9 possible.

10 So the leading edge is cars for passenger
11 vehicles, but we're seeing the same transition happening in
12 the medium- and heavy-duty space where battery-electric
13 vehicles and fuel cell electric vehicles are going to play
14 a really critical role to meeting our clean air goals. And
15 we need to, for battery-electric, plug them in as quickly
16 as possible. We also need to produce zero-carbon hydrogen,
17 which is going to take a clean grid as well.

18 So we need to plug in transportation at buildings
19 to the grid as quickly as possible as we integrate
20 renewables and storage at record rates. So we're focusing
21 today on, as I said, the distribution side of the grid, the
22 final stage of distributing energy to power vehicles, to
23 power homes, to power industry, and pretty much many other
24 end uses. And there's a lot of actions already being taken
25 to speed the delivery of electricity to end uses. The

1 morning session is going to highlight those activities.
2 And in the afternoon, we're going to look at ways that we
3 can speed up processes.

4 So with that, I want to pass it over to Vice
5 Chair Gunda to see if he has any opening remarks.

6 VICE CHAIR GUNDA: Thank you, Commissioner
7 Monahan.

8 And I just want to, first of all, begin by
9 thanking you for really conceiving a wonderful way of
10 framing the IEPR and taking a fresh look at how we do this
11 in a way that it's all California represented by all the
12 agencies and we have a collective thinking of ideation on
13 solving this really important issue on our path to meeting
14 our climate goals.

15 To just inadvertently repeat a few things that
16 Commissioner Monahan said, you know, I think our climate
17 agenda has such a strong foundational requirement of a
18 broad electrification strategy, you know, with an
19 underpinning of having a clean grid. And I think in the
20 last workshop last week, we really talked about the
21 importance on the bulk grid, the transmission side, and how
22 do we make sure we're cleaning the grid as rapidly as we
23 can, and what are the different things we can do to do so?

24 And I think the second element of that
25 electrification strategy is ensuring that we quickly

1 connect the electric load, making sure that we're
2 transitioning away from fossils, especially as Commissioner
3 Monahan pointed out, in transportation and buildings as a
4 core strategy. How do we make this happen? But also an
5 important element of this is how do we make that grid
6 friendly?

7 So we are kind of talking about multiple pieces
8 of ensuring this strategy moves forward. So I think, you
9 know, this is a very important conversation, you know, a
10 mirror image on the other side, and how do we tackle this
11 on the distribution side and really evolve it to the next,
12 you know, 50 years of grid needs for us?

13 A couple of points, I just want to synchronize
14 with them. The distribution grid, especially given the
15 opportunity to have most of the demand as a part of grid
16 management, requires additional digging into in terms of
17 how do we think about demand flexibility? You know, how do
18 we ensure there is opportunity for connecting the load, but
19 also ability to manage that load to be grid friendly?

20 And within that context, we have a couple of
21 bills that passed last year, you know, 846, 205, 209, all
22 kind of bringing the agencies together to think about, you
23 know, how do we set those demand flexibility standards?
24 How do we think about some of the reliability funding to
25 help support the start of some of this work?

1 So I think this is a very important conversation
2 and looking forward to it. And I'm really glad to be a
3 part of this discussion today.

4 And again, thanks Commissioner Monahan, the IEPR
5 team, the amazing Ben Wender, and all the staff who are
6 working on all the stuff, so thank you.

7 With that, back to you, Commissioner Monahan.

8 COMMISSIONER MONAHAN: Thanks, Vice Chair Gunda.

9 Let me pass it to President Reynolds.

10 PRESIDENT REYNOLDS: Great. Thank you,
11 Commissioner Monahan. And thank you, again, for taking the
12 helm of these IEPR workshops, and also for focusing on a
13 really important issue that we're facing today,
14 accelerating interconnection to the grid.

15 I am looking forward to the discussion today. I
16 welcome the opportunity to join my colleagues on the dais.
17 And also wanted to make sure I passed along a sincere thank
18 you to all the staff who put together the workshop and to
19 all of the speakers on the panels today. We really
20 appreciate all of the input and the work in making this
21 happen.

22 I do feel encouraged by the conversations we had
23 last week on how to improve interconnections to the bulk
24 grid. It was a really productive dialogue. I appreciate
25 the creative solutions that were put forward and the

1 acknowledgement of just the challenge that we're facing.
2 So in that spirit, I'm also looking forward to the
3 discussion today and hearing a range of stakeholder
4 perspectives.

5 At the CPUC, we are also really focused on this
6 issue, the issue of interconnection to the distribution
7 system and, in particular, ways that we can improve how we
8 integrate zero-emission vehicle adoption and increase load
9 from distributed energy resources into distribution grid
10 planning. And I would say that, you know, despite recent
11 discussions and actions, this still kind of feels like a
12 sleeper issue.

13 The distribution system is really critical to
14 support our climate change goals. Everyone depends on it.
15 There are millions of interconnections in California on the
16 distribution system side. And it's critical to make sure
17 we're planning thoughtfully, as well as implementing
18 efficiently and quickly, and really always focusing on ways
19 to reduce costs.

20 So with that, I did want to thank you again for
21 having me today. I look forward to the workshop.

22 And I will turn it back to you, Commissioner
23 Monahan.

24 COMMISSIONER MONAHAN: Thanks, President
25 Reynolds.

1 Let me just go to Commissioner Reynolds, just to
2 keep all the Reynolds together.

3 COMMISSIONER REYNOLDS: Thank you, Commissioner
4 Monahan, and thank you for hosting this important
5 discussion. I will echo the comments already made. I
6 really appreciate the conversation we're about to have here
7 today. You know, the one angle I'll add is that I
8 can't agree enough that this is a really critical issue for
9 us meeting our goals in the state. I'm the assigned
10 Commissioner to the PUC's general rate case for Pacific Gas
11 and Electric. During the course of our public
12 participation hearings in that case, we heard from
13 community leaders in both Humboldt County and in the City
14 of Madera who expressed frustration at limitations on the
15 development of their own communities based on limited
16 capacity in a distribution system. It certainly would.
17 And I appreciate how important it is for communities to be
18 able to grow. And, you know, we often think about the
19 importance of being able to connect to electrified
20 buildings, electrified transportation.

21 It's also important for places around California
22 to be able to develop new jobs, new hospitals, new services
23 for their communities more broadly. And getting this right
24 will be really important. It will be really important to
25 balance the investments needed to connect new buildings to

1 electrify electrified transportation and buildings and be
2 able to do so in a cost-effective way for all Californians.

3 So we look forward to the discussion we'll have
4 today and thanks again.

5 COMMISSIONER MONAHAN: Thanks, Commissioner
6 Reynolds. Yeah, I really appreciate that focus on if we
7 want to make people's lives better, we need to build out
8 housing as swiftly as possible. We need electricity to do
9 that. So it's our clean energy goals and it's also just
10 making people's lives better.

11 Let me pass to Commissioner McAllister.

12 COMMISSIONER MCALLISTER: Great. Well, thanks to
13 all of my colleagues. I couldn't agree more with your
14 comments.

15 And would again reiterate the thanks to staff in
16 both your office, Commissioner Monahan and Vice Chair
17 Gunda's office, and really across the Commission. I mean,
18 it's really a moment of interconnection across many, many
19 different themes, sort of integration of many conversations
20 that traditionally have been kind of siloed. And I think
21 that really comes together in this discussion about the
22 distribution grid. I mean, with apologies to Shakespeare,
23 the distribution grid is the thing; right?

24 And so I think that's obviously the grid up and
25 down all the way up to the bulk power market, which we

1 talked about last time. We've known those are important
2 and those are absolutely core planning for the sector that
3 we oversee. But I think the distribution grid as an
4 enabler of decarbonization, its role is just becoming more
5 and more central to many of the discussions that we have
6 across both of our Commissions.

7 I'm the lead on energy efficiency, buildings, and
8 many things that touch the distribution grid. Vice Chair
9 Gunda and I are working together on data support for really
10 rising to the occasion to understand how to improve, how to
11 understand how load growth, largely, but just the load
12 itself is evolving as, you know, potentially a very
13 powerful tool for managing reliability and our
14 decarbonization journey in an optimal way. And, you know,
15 I would just sort of highlight a few of the things.

16 On the load side, I mean, I really think that
17 this distribution system discussion is vital because of
18 electrification of transportation, the load growth we're
19 going to see there, buildings, many, many loads coming on
20 to the grid. And we need to develop the tools to have
21 foresight about that and to have -- really approach
22 planning in a much more atomized, localized, targeted,
23 strategic way so that we can unfold the rates discussion
24 that Commissioner Reynolds mentioned and all the sort of
25 commensurate discussions together in a way that doesn't --

1 that in this strange transition period of a decade, decade
2 and a half that's coming, that we can really manage
3 customer costs and reliability and end up at a point B that
4 I think we all understand is a much better place to be.
5 But we have this sort of tricky transition to navigate in
6 the meantime.

7 And so really looking forward to today, that's a
8 great, great agenda. Wonderful, wonderful panelists. And,
9 you know, highlighting the various sort of parallel efforts
10 that are happening.

11 Vice Chair Gunda mentioned the load shift goal,
12 which I think is a very key part of this. You know, we
13 need to enable these new loads and a distribution grid to
14 handle them in a way that creates much more visibility
15 going forward for us as regulators, for the utilities, for
16 the customers. You know, we have a lot of prosumers out
17 there and we're just going to have more. And that's taking
18 on a broader definition as well. It's not just about self-
19 generation. It's about managing load and managing the
20 footprint on the grid. And so customers will increasingly,
21 in an automated way, hopefully, but they'll be taking a
22 more central role in that with the help of third parties
23 and, in many ways, with the help of regulations that we'll
24 be promulgating on sort of governing individual loads and
25 even individual devices, certainly in new construction.

1 So also, finally, I just wanted to mention, you
2 know, we're making a lot of investments. The state is
3 making a big push for equitable building decarbonization.
4 And that's a great opportunity to support equity, to really
5 focus on the parts of our society that need support the
6 most, and also enhance our climate response, and all that
7 takes place at the distribution grid.

8 So really vital conversation today. I'm just
9 pleased to be a part of it and looking forward to the day
10 as it unfolds, so thank you.

11 Back to you, Commissioner Monahan.

12 COMMISSIONER MONAHAN: Thanks, Commissioner
13 McAllister.

14 So Commissioner Houck is in transit and she's
15 listening in. I just want to read a brief statement.

16 So she wants to thank all the presenters. And
17 she asked me to note that the topic of today's workshop is
18 one, if not the most, critical issue we will be grappling
19 with over the next decade.

20 So hopefully, we'll be able to see Commissioner
21 Houck. I think she will be joining the visual virtual
22 dais, but she is on the phone and hopefully we can have her
23 ask questions even if she's not on the Zoom screen.

24 So let me turn it over now to my Advisor, Ben
25 Wender, who's going to be leading us throughout the day.

1 MR. WENDER: Wonderful. Thank you all for those
2 inspiring and compelling opening remarks.

3 We're going to start the day with some brief
4 presentations. First, my colleague, David Erne, who is
5 Deputy Director of the Energy Assessments Division, will
6 kick us off contextualizing this year's IEPR and in some of
7 CEC's ongoing activities and pointing towards some near
8 upcoming events.

9 So David, take it away.

10 MR. ERNE: Thank you, Ben. Can you hear me
11 alright?

12 MR. WENDER: Great.

13 MR. ERNE: So, hi, my name is David Erne. I'm
14 Deputy Director of Assessments Division. I'm here with
15 Chris Walker of GRID Alternatives as part of the opening
16 context for the workshop today. So I'm going to give you
17 some perspective about how this all fits into our IEPR this
18 year, but also how it fits into state planning and the
19 activities that we're looking at for improving
20 interconnections across the board.

21 So as was mentioned, this is the second workshop
22 in a series. We had our bulk system workshop last
23 Thursday. It was a great workshop that talked about really
24 the need for the resources that we have to bring online to
25 support our reliability planning standards, the pace and

1 scale of bringing those online, the risks associated with
2 getting those online and interconnected, but also walked
3 through the process of interconnection, ongoing activities
4 to improve interconnections, and talked about
5 recommendations from developers and stakeholders about how
6 to continue to improve that interconnection process.

7 We're following a similar flow today in terms of
8 how we want to present on the distribution side. And we
9 recognize as a conclusion of last Thursday, as was noted
10 multiple times in the opening dais comments, the value and
11 the critical function that distribution system
12 interconnection of resources is to supporting reliability,
13 supporting customers, and making sure that we can reduce
14 our load at its source as much as possible, which is really
15 valuable to our overall grid health.

16 So what I'm going to do today is I'm going to,
17 first of all, walk through our schedule for the day, and
18 then I'll talk through some context relative to state
19 planning.

20 So next slide.

21 So like the flow of our last Thursday workshop,
22 I'll be followed by presenter Chris Walker from GRID
23 Alternatives who will give us a context of the value and
24 importance of these grid connections to ensure that we
25 provide customer support. We'll also go through a process

1 with the CPUC and utilities, giving us an overview of how
2 distribution planning occurs and that phase in the overall
3 process. That'll be followed by an overview of the actual
4 interconnection process and the timelines associated with
5 that, so what's typical that we see in terms of
6 interconnecting distributed resources. Then we'll close
7 out the morning.

8 We'll follow that up in the afternoon with
9 developer perspectives, like we had on last Thursday, and
10 an overview from a variety of stakeholders giving
11 recommendations for improvements on interconnecting to the
12 distribution system.

13 And that's the flow of our workshop today.

14 So let me put some of this in context with where
15 we stand overall with the grid.

16 As I mentioned last Thursday, and I'll repeat
17 today, over the last few years, we've seen a lot of
18 challenges to the grid, primarily from the impacts of
19 climate change that have caused us to have excessive heat
20 events, have drought conditions, and also wildfires that
21 affected our grid, and the need to ensure that as we move
22 forward in our clean energy transition, that we are also
23 taking into account these new conditions that we find
24 ourselves in from climate change.

25 Next slide.

1 So in looking at the overall challenges for
2 California reliability, there are three definite things
3 that we feel are critical to ensuring that we achieve
4 better conditions.

5 First of all is we need to improve our planning
6 processes, incorporating climate change into our planning,
7 both on demand and supply, making sure that we get our
8 resources interconnected in a timely fashion and we have a
9 sufficient number of resources across the entire state to
10 ensure that we have those resources up and running as we
11 need them, as are being ordered, so that we can maintain
12 reliability.

13 But throughout that process in our clean energy
14 transition, we also recognize we need to expand the
15 diversity of resources available to us. On the demand
16 side, clearly we're having a general trend towards more
17 distributed resources being interconnected. We also need
18 to -- we're also advancing through load management
19 standards, appliances, a way to interconnect these devices
20 in a way that's a smarter, easier way to bring them online
21 and be able to take advantage of demand flexibility.

22 Also we need to diversify our supply side
23 resources. We've seen some challenges in recent years on
24 the supply chain issues for solar and storage. And part of
25 overcoming some of those challenges is also making sure

1 that we're diversifying our resources to having a broader
2 set of types of resources, including long lead time
3 resources that will enable us to have a broader portfolio
4 and less reliant on a few technologies.

5 And lastly, we need additional strategies like
6 the strategic reliability reserve to support us during
7 extreme events. We're going to have those. We don't
8 necessarily need to buy all our resources through the RA
9 Program, RAP, to ensure we cover every extreme event.
10 That's not prudent. But we can have resources to provide
11 those some grid reliability during extreme events through
12 the strategic reserve.

13 Next slide.

14 So what has the state been doing to take
15 advantage of all of our coordinated activities and our
16 coordinated responsibilities? And that is working to
17 ensure that we are conducting multiple reliability
18 analyses, both -- I'm sorry, all three, CEC, CPUC, and Cal
19 ISO, all conducting reliability analyses and evaluating
20 different scenarios for the future for the state and
21 coordinating on those activities.

22 We're also tracking our resources much more
23 closely of those that are coming online, ensuring that
24 they're coming online in a timely manner. And where
25 possible, the state can act to overcome barriers to getting

1 those resources online that are necessary for some
2 reliability.

3 We're also tracking our contingency resources,
4 like the Strategic Reserve and other resources available to
5 the state, to ensure that during those extreme events we
6 have resources available to provide additional reliability.

7 We're also working to coordinate our activities
8 along with Cal ISO System Operating Emergency Plan so that
9 we are aligned with that and ensuring that during an
10 emergency we're all operating in a similar fashion towards
11 the same end.

12 And as has been noted before, we have real-time
13 communications at senior levels, the folks that are on the
14 dais, as well as others, brought together routinely for
15 conversations for planning during the summer. And then as
16 we have heat events, amping up that communication to ensure
17 greater coordination.

18 Let me put this in perspective about the
19 distribution system now.

20 We can go to the next slide.

21 Actually, this slide is mistitled. This should
22 be solar rather than energy storage. I'll cover energy
23 storage in just a second.

24 Let's take a look at data up to 2022 of what's
25 currently on the system. And we look at, on the left, the

1 number of installations. The, primarily, major portion of
2 that pie chart is the distribution system interconnection
3 of solar relative to utility scale, which is the smaller
4 numbers at the top. So look at the number of
5 interconnections we've had on the distribution system thus
6 far. It puts that in perspective that 99 percent of our
7 solar connections have been at the distribution level and
8 that's going to continue to grow.

9 On the right is the scale of megawatts. And not
10 too bad, given that these are usually relatively smaller
11 installations at the distribution level. It's still about
12 42 percent of our overall megawatts are at the distribution
13 level. So we can see even up to this point, with the
14 growth that we've had, we have pretty substantial amount of
15 work that's happening at the distribution level and that's
16 anticipated to grow.

17 Next slide.

18 Similar situation on the energy storage side,
19 which is even more nascent, I would say, than the solar for
20 interconnection, but about over 75,000 interconnections
21 statewide of energy storage at the distribution level,
22 which accounts for almost half of the, or a little more
23 than half of the storage that we have in the state. So
24 again, relatively large and growing. Let's take a look at
25 what that growth is looking like.

1 Next slide.

2 Using our planning forecasts from the IEPR that
3 support the IRP and RA, you can see how the growth is
4 expected to continue moving forward for behind-the-meter
5 storage and behind-the-meter solar, a pretty substantial
6 ramp. So think of what we already have in place and that
7 growing substantially over the ensuing years and what that
8 means for the number of interconnections that are going to
9 have to happen for solar and storage.

10 Let's take into account now what's happening on
11 the electric vehicle side, so we can go to the next slide
12 and look at the projection for the number of electric
13 vehicles that are going to be put into the state over the
14 ensuing years. And we can see how many millions of EVs are
15 going to be there to charge, the number of charging
16 stations that we're going to have to put in place to be
17 able to support this growing number of electric vehicles.

18 So a growing number of solar storage and charging
19 is going to have to happen in the interconnection
20 associated with that. Quite a substantial workload for us
21 moving forward to address that. And we'll talk a little
22 bit later on today about what has to happen for the
23 distribution planning process and what those
24 interconnections really look like in terms of the actual
25 activity that occurs.

1 Next slide.

2 We are working on other strategies to help
3 support our reliability. The legislature asked CEC, as
4 part of SB 846, to develop a plan for investing \$1 billion
5 to support reliability and clean energy. We produced that
6 plan that's being evaluated for appropriation this year.
7 Appropriations would be up to \$1 billion over a three-year
8 period.

9 We identified four funding priorities that we
10 think are important to support us during this clean energy
11 transition.

12 We have enabling investments, which are some of
13 the administrative and capacity-building activities that
14 need to occur, like incorporating climate change, engaging
15 more with community-based organizations to ensure that we
16 are planning out our resources in the right way to be the
17 greatest support to the customers.

18 We also feel that there's a substantial amount of
19 work we need to scale both demand and supply side resources
20 and increase the diversity of those resources, as well as
21 providing additional support during extreme events.

22 Next slide.

23 This simply gives you an overview of what was
24 proposed in terms of funding. And I think really the
25 critical point here is the priority, which is we feel that

1 the greatest amount of that \$1 billion should go towards
2 scaling new resources, both demand side and supply side,
3 with demand side resources being the predominant investment
4 that we think is valuable for the state moving forward.

5 That concludes my introductory comments and
6 preparation for the workshop today.

7 I will point out on the next slide that we do
8 have a workshop happening next Wednesday, May 17th. We'll
9 have our Summer Reliability Workshop jointly with CEC,
10 CPUC, and Cal ISO, where we'll review our anticipated
11 summer situation, talking about hydro, fire risks, new
12 resources coming online.

13 We'll also review our reliability assessments
14 that the CEC and Cal ISO have conducted. We'll provide
15 folks with an overview of where things stand with planning
16 for the strategic reserve for the summer, as well as having
17 a review of supply chain issues and an update on that from
18 a panel of developers. So that's what's happening next
19 Wednesday. Please join us. The announcement is out for
20 that already.

21 So with that, I'll conclude my comments and turn
22 it over to Chris Walker, who's VP of Policy and Programs at
23 GRID Alternatives, who will give us some additional context
24 from the customer perspective.

25 Chris?

1 MR. WALKER: Thank you so much, David.

2 Next slide, please. Next slide.

3 Good morning, Commissioners, agency staff, and
4 friends. I appreciate the opportunity to provide some
5 brief remarks as we work toward our next IEPR. I also want
6 to thank everyone here and those who work to improve our
7 distribution grid every day. Our work relies on yours.

8 As David mentioned, I'm Chris Walker. I use
9 he/him pronouns, and I'm the VP of Policy and Programs at
10 GRID Alternatives, the nation's largest nonprofit clean
11 energy provider. And the irony of providing these remarks
12 while hailing from GRID Alternatives isn't lost on me.
13 Still, we've always needed a healthy grid to advance our
14 mission, and it's an honor to be here with you today.

15 GRID is a staff of about 400, headquartered in
16 Oakland, and it's our mission to build community-powered
17 solutions to advance economic and environmental justice
18 through renewable energy. Our work is exclusively for and
19 with underserved communities, including low-income
20 communities, environmental justice communities, and tribes,
21 which we partner with and serve through our Tribal Program,
22 as well as our Tribal Solar Accelerator Fund.

23 At GRID, we install solar storage and EV chargers
24 with a big focus on workforce development, help to
25 administer historic programs like DAC-SASH, SOMAH, CEC

1 Block Grant Programs for light-duty EV, charging
2 infrastructure, and advocate here in California and
3 nationally for equitable access to clean energy and
4 mobility solutions.

5 Next slide, please.

6 So countless advocates have campaigned for
7 decades for the scale of funding coming down the pipeline
8 soon. Investments from the Bipartisan Infrastructure Law
9 and the Inflation Reduction Act are just now starting to
10 flow, with transformative implications for the future of
11 infrastructure, solar, storage, EVs, and EV charging,
12 efficiency-related manufacturing, and more.

13 And all of our targets are moving.
14 Transportation and building electrification means
15 exponential load growth amid shifts like robotics and
16 automation, proliferating artificial intelligence, and
17 internet-connected devices.

18 So these fundamental shifts in the way we power
19 our society demands a healthy grid. Low-income homes and
20 environmental justice communities can't go solar, swap out
21 their internal combustion engine vehicles, or get EV
22 chargers without sufficient distribution capacity, or do so
23 efficiently or cost-effectively without sound
24 interconnection processes.

25 We find purpose in our work partnering with and

1 serving California communities through these programs, and
2 your work to ensure we can interconnect is instrumental.
3 And as we try to do every day in our downstream work at
4 GRID, I want to challenge all of you to think about how we
5 can advance actively anti-racist and equitable improvements
6 to our distribution infrastructure.

7 Next slide, please.

8 Next I want to talk to you about some themes
9 we're seeing in seeking to interconnect our projects at
10 GRID to California's distribution system. Low-income
11 communities and communities of color in particular, which
12 are disproportionately EJ communities, have outdated
13 wiring, need main service panel upgrades, new transformers,
14 substation upgrades, and more.

15 As for interconnection, there are appreciable
16 differences across investor-owned utility territories, as
17 well as rural electric co-ops.

18 But what is universally true is that we need to
19 invest in staffing and process design within key IOU
20 service planning, inspection, and interconnection roles.
21 And GRID has advocated for dedicated staff for low-income
22 and EJ communities to make sure this work can proceed at an
23 equitable pace. They need priority.

24 At GRID, we've had the honor to advance access to
25 solar through historic programs overseen by our partners at

1 the CPUC. The Single-Family Affordable Solar Homes, or
2 SASH, Program and its successor, DAC-SASH, working in
3 California's most pollution-burdened census tracts, are and
4 will continue to be national models in providing no-cost
5 solar to low-income families while advancing a diverse,
6 inclusive solar workforce.

7 We're also very proud of our work on SOMAH, the
8 Solar on Multifamily Affordable Housing program, which will
9 install at least 300 megawatts of solar on multifamily
10 affordable housing through 2030, reaching hundreds of
11 thousands of Californians and covering as much as 91
12 percent of their electric bills if they're on care rates.

13 We're hopeful that equitable community solar will
14 bloom, with work underway to build on the hard work done
15 within the DAC Green Tariff and Community Solar Green
16 Tariffs, with a new market-based program that can further
17 align with federal funds while building additional capacity
18 benefiting low-income Californians not served by other
19 programs.

20 We're also excited about the future of SGIP and
21 all it'll do to advance resilience in a solar plus storage
22 future in California, especially its potential to help
23 mitigate the net peak and ultimately contribute to local
24 resource adequacy.

25 We're also excited about the increasing focus on

1 enabling technologies, like main service panels which we
2 think of as the first interconnection, which are a major
3 barrier to our work. So we applaud emergent programs like
4 Southern California Edison's Home Electrification Readiness
5 Pilot, which will help to address this key barrier for low-
6 income homes gearing up for EV charging with co-benefits
7 for solar plus storage projects too.

8 And these programs are just a sampling of
9 California's investments, ones we're excited to build upon
10 in partnership with all of you, in the communities who need
11 and deserve these resources the most.

12 Next slide, please.

13 And interconnection matters. Through some of the
14 programs I mentioned previously, GRID is proud to have
15 installed over 25,000 grid-tied solar energy systems for
16 low-income single-family homes, over 2,200 community
17 facilities, including for multifamily affordable housing,
18 helping our neighbors and communities to save over \$650
19 million in energy costs in the process so far.

20 Next slide, please.

21 And while energy savings is the key benefit, it's
22 not the only one. And installing those over-25,000 solar
23 energy systems, we've provided invaluable hands-on training
24 to over 30,000 people, helping to feed the demand in
25 California for solar workers while advancing solar

1 workforce diversity in the process. The grid does and will
2 continue to enable clean energy jobs in California, and we
3 need a healthy grid for healthy job growth.

4 Next slide, please.

5 And though solar is how we got our start, GRID
6 Alternatives is really proud to have grown our equitable
7 clean mobility work. Because gas is still expensive and
8 internal combustion engines are still a major source of
9 pollution burdening our neighbors and DACs. So we know the
10 road to healthier communities starts with infrastructure.

11 So much of our work now revolves around how we
12 can help make sure California's clean transportation
13 investments leapfrog the early equity missteps of our solar
14 market.

15 To highlight a few, CARB's small but mighty
16 Access Clean California Project created in response to the
17 SB 350 Barrier Study and Report. It's a job in and of
18 itself to know about the alphabet soup of programs, let
19 alone navigate them as a low-income participants. So
20 Access Clean California brings together many transportation
21 equity programs into a single streamlined web platform with
22 an integrated benefits finder that allows you to see
23 everything you qualify for in one place, verify your income
24 through a paperless process using an API with the IRS for
25 both filers and non-filers, access a dedicated case

1 management team if you need them, and is supported by a
2 statewide network of diverse CBO partners that do
3 culturally and linguistically appropriate outreach.

4 We also partner with CALSTART to administer the
5 CEC's Communities in Charge Project too. It incentivizes
6 equitable deployment of Level 2 chargers, prioritizing
7 multifamily affordable housing, tribes, places of worship,
8 schools, health care facilities, and more throughout
9 California.

10 And at GRID, we're dedicating to stacking and co-
11 leveraging across this complex ecosystem of programs to
12 maximize benefits to participants in an efficient and cost
13 effective manner. For example, we've worked to ensure that
14 SOMAH properties have a streamlined application process for
15 Communities in Charge and that those properties planning to
16 install solar can get a larger system if they're also
17 installing EV charging infrastructure.

18 Meanwhile, we also want to make sure that SOMAH
19 tenants know about Access Clean California and can find EV
20 rebates and assistance programs when the stars align and
21 relevant programs are open and funded.

22 Next slide, please.

23 And before I run out of time, I want to leave you
24 all with some strategies we think about as we scale our
25 efforts for equitable access to clean energy and

1 transportation solutions. None is more fundamental than
2 ensuring we can interconnect.

3 We can also begin to align renewable energy and
4 transportation equity programs to provide distribution
5 system benefits.

6 Let's ensure we leverage the power of
7 California's ecosystem of CBOs who keep us honest and
8 ensure our work and ensure our solutions work for their
9 communities.

10 We can further harness solicitations, terms and
11 conditions to strengthen alignment across programs and
12 advance procedural equity.

13 Make sure that programs can more easily stack and
14 talk to each other.

15 Expand categorical and co-eligibility.

16 Make sure our most underserved communities have
17 the capacity to access technical assistance through
18 planning and participation grants.

19 Ensure we're thinking beyond savings and creating
20 career opportunities and opportunities for minority-owned,
21 women-owned, veteran-owned businesses.

22 Share data across programs to make collaboration
23 easier and dollars go farther.

24 Ensure our lowest-income folks are first in line
25 and get the most support within our incentive programs.

1 Ensure program administrators can be more agile
2 at adjusting program designs that aren't working or need
3 tweaks to boost equity outcomes.

4 And ensure we're designing California's efforts
5 to align with the historical federal resources coming down
6 the pipeline that our taxpayers have already paid for.

7 Next slide, please.

8 Finally, I want to thank the Commission again, as
9 well as the entire community of practice here, for its work
10 to make sure that these historic efforts and this historic
11 moment have lots of room for growth to be as efficient
12 distributed distribution capacity and interconnection. If
13 we have intentional planning and continue to prioritize
14 improvements intelligently through this IEPR, we'll have a
15 sound foundation for ensuring equitable climate action as
16 well as healthy, prospering communities for all
17 Californians.

18 Thank you and back over to you, Ben.

19 MR. WENDER: Thank you so much, Chris and David,
20 for those wonderful framing comments.

21 I'm going to pass it on to Commissioner Monahan
22 and the dais and look forward to some discussion about how
23 to harness these historic resources, the projected growth
24 in both new distributed energy resources and flexible loads
25 and how to do it equitably. Thanks so much.

1 COMMISSIONER MONAHAN: Alright. Thanks, Ben.
2 And I think for us, we have a little bit more than ten
3 minutes for questions or comments from the dais.

4 I'm going to just start by saying thanks, David.
5 I thought that your presentation was excellent and really
6 highlighted how, in terms of just numerically, how much
7 more challenging it is on the distribution side to work
8 through processes.

9 And Chris, I want to thank you and GRID
10 Alternatives for all the work that you do. Your
11 organization is really amazing. And it's wonderful to see
12 all the places that you intersect with our work and as
13 you've expanded into transportation. And I, too, have
14 intersected more with GRID Alternatives and it's great to
15 work with you.

16 So I wanted to ask Chris whether, and just kind
17 of taking a step back, about whether -- I think you've had
18 more experience on the solar side, so maybe you could just
19 focus there -- on whether you have seen any like positive
20 changes or whether your experience is it getting harder?
21 Just from kind of an anecdotal, not necessarily a number of
22 functions way.

23 MR. WALKER: Thank you for the question,
24 Commissioner Monahan, and for your recognition of GRID's
25 work in this space. We're happy to partner with you all.

1 I think there, as I mentioned, there's a lot of
2 variation across what we see in terms of interconnection
3 processes and challenges across the investor-owned utility
4 territories. But there is listening, and our partners at
5 the CPUC help to work with us when we do encounter the
6 stickiest interconnection challenges. That said, some of
7 the processes are extremely finicky. Having a customer
8 name on a bill vary by one character can derail the
9 interconnection process in ways that can add a week or more
10 to the timeline. So we are, with different investor-owned
11 utilities, requesting different kinds of changes.

12 But in general, our projects, which are on the
13 smaller side, have somewhat of an easy path if the
14 paperwork is complete and accurate. So I do appreciate our
15 utility partners for that work.

16 That said, the coming scale of investment, as I
17 mentioned, is so great that we all will have to redouble
18 our efforts in capacity and make sure that that can
19 continue to be the case while making process improvements
20 to further sort of smooth the path.

21 COMMISSIONER MONAHAN: And I'll ask my fellow
22 participants on the dais, if you have any questions or
23 comments, you can raise your hand or you can just take
24 yourself off mute and you can speak. Well, I'll ask one
25 more.

1 You had recommended that there be dedicated staff
2 for low-income communities. Can you talk more about what
3 that looks like?

4 MR. WALKER: Yes. The service planning queued
5 interconnection processes have their own sort of sorting
6 methodology. And it's not the case that low-income and EJ
7 communities have any different differentiated sort of
8 access to these processes, while equity, by definition,
9 implies preferential treatment to sort of remedy the fact
10 that these communities are starting from a different
11 starting point than other communities with regard to their
12 infrastructure.

13 So in terms of our goal to increase equity, we've
14 requested that preferential treatment, and we haven't seen
15 that. It's not actually allowed under current process.
16 But we're going to continue advocating for that because,
17 again, we can't have an inclusive transition to renewable
18 energy. We can't help low-income and EJ communities
19 transition to electric vehicles and make sure they have
20 charging infrastructure locally if their infrastructure is
21 at a disadvantage.

22 COMMISSIONER MONAHAN: And what do you mean,
23 they're not allowed to?

24 MR. WALKER: I'm not sure if that's regulatory or
25 legal, but the service planning process for utilities is

1 rock solid. And they've noted to us they can't, you know,
2 have low-income applicants or EJ applicants skip the line.
3 That's just not how it currently works.

4 So I'm far from an expert on that policy matter.
5 But it's worth looking into on our side and we're tracking
6 relevant pieces of legislation to see if there are
7 opportunities to change.

8 COMMISSIONER MONAHAN: Thanks.

9 Commissioner McAllister?

10 COMMISSIONER MCALLISTER: Yeah. Thanks. Thanks
11 to both Chris and David.

12 Chris, in particular, you know, I'm very familiar
13 with GRID Alternatives from the very early days. And just
14 really, it's been great to see you grow and thrive and just
15 do amazing work. So just kudos to you and the whole team.

16 I want to just ask if you have any observations
17 from your experience with solar, and now transportation
18 primarily, as we move into this rapid electrification of
19 buildings, any lessons? Energy efficiency in buildings
20 and, you know, sort of integrated home upgrades and things
21 like that, they are somewhat more complicated, but they
22 are, you know, they need to be integrated with all these
23 other activities. I guess any observations or challenges
24 you might raise or sort of suggestions you might have for
25 how our under-resourced communities can best be approached,

1 how programs can best approach our under-resourced
2 communities to really effectively, efficiently and kind of
3 urgently address the broader buildings related upgrades
4 that we'll be doing?

5 MR. WALKER: Thank you for that question. It's a
6 really important one and one we think of a lot. And I
7 tried to cram a lot into that final slide but could write a
8 doctoral thesis on all of our program design ideas that we
9 think can further advance equity and inclusion in this
10 transition to renewable energy and clean transportation
11 solutions.

12 What we feel is one of the emerging themes is the
13 need to have a more integrated approach to service
14 delivery. If we can conduct outreach to a home and tell
15 them in one go about solar programs, storage programs, EV
16 charging infrastructure programs or programs that can help
17 them get subsidized charge cards, access incentives for
18 electric vehicles, and potentially financial assistance in
19 the form of low-income loans or financial counseling to
20 access EVs, we reduce the burden on that applicant to be
21 able to access those programs without, again, learning the
22 entire alphabet soup of that entire landscape of programs,
23 which is overwhelming and a barrier of participation. If
24 we can then deliver those services in a fell swoop, it
25 actually helps those individual programs to be more

1 effective.

2 So, one of the examples I provided is, for
3 example, if we can approach a multifamily building and tell
4 them about EV charging infrastructure at the same time as
5 solar, pairing both Communities in Charge and SOMAH, they
6 can actually get a larger solar energy system through SOMAH
7 to account for the load growth that will happen due to that
8 charging infrastructure. So stacking, coordinated co-
9 marketing, co-leveraging across programs is one of the
10 important themes I would point out there.

11 COMMISSIONER MCALLISTER: Great.

12 MR. WALKER: And then, on the agency side, again,
13 leveraging the power of solicitations in terms and
14 conditions to be specific about expectations in that
15 direction, that programs will stack and co-leverage and
16 talk to one another and sort of smooth the path to
17 facilitate that to happen kind of from the beginning
18 through program design and requirements from them.

19 COMMISSIONER MCALLISTER: I appreciate the
20 answer. I guess I'll just note that you didn't mention
21 heat pumps at all or efficiency measures or any of the
22 things that we're going to be investing, you know, a
23 billion-plus dollars in in the coming couple of years. So,
24 you know, you mentioned batteries and EVs and solar, but
25 not the actual core electrification that we're going to be

1 doing in terms of the actual and non-EV end uses in the
2 homes.

3 So I'm just wondering if you have any suggestions
4 about those programs that are coming down the line and how
5 they might be integrated? I don't want to take up too much
6 time here, but that was sort of the gist of my question and
7 sort of broadening to a more integrated building upgrade,
8 you know, integrated building upgrade approach.

9 MR. WALKER: Yeah, and you've pointed to one of
10 the blind spots in our work. At GRID, we don't do
11 electrification beyond main service panel upgrades and
12 solar. That said, we want to make sure that we're
13 mitigating load before we install solar. So lots of our
14 programs co-market with ESA, for example, and we're looking
15 at the ESA Whole home program, for example, as one way of
16 addressing the fact that under NEM 3.0, we'll have a
17 different financial value proposition per homeowners. So
18 if they can participate in the ESA whole home program at
19 the same time as going solar through DAC-SASH, it can make
20 their bill credits go farther.

21 So the same comment stands around stacking and
22 co-leveraging, integrating everything that I mentioned, in
23 addition to building electrification efforts,
24 weatherization efforts, efficiency efforts, et cetera.
25 That's just not a big part of our work at GRID, and we're

1 not going to be installing heat pump water heaters anytime
2 soon, unfortunately. We're just not well positioned to do
3 that.

4 COMMISSIONER MONAHAN: Well, Chris, I want to
5 move us along so we can make sure we stay on time, but
6 thanks very much to you and to David for your comments.
7 And Chris, I would encourage you to submit to our docket
8 any best practices that you have seen, you know, across
9 different utilities. I think it would really help us in
10 terms of just highlighting kind of what's working and where
11 we might want to look for replication.

12 MR. WALKER: Thank you, Commissioner Monahan.
13 We'll do that.

14 COMMISSIONER MONAHAN: Thank you.

15 Alright, I'm going to pass it back to Ben.

16 MR. WENDER: Thanks so much, Commissioner, and
17 both Chris and David, again for that compelling
18 introductory framing.

19 Our next panel is going to dive in a little more
20 to the process of distribution system planning. We'll hear
21 about some of the great work ongoing at the Public
22 Utilities Commission to prepare us for rapid growth in
23 distribution-connected resources that we heard about just
24 now from David. We'll also hear a joint presentation from
25 the joint IOUs about how they approach distribution

1 planning, as well as a publicly-owned utility, get a sense
2 of how their processes complement, are similar or
3 different.

4 So let me open it up, start with Simon Baker.
5 He's Director of Distributed Energy Resources, Natural Gas,
6 and Retail Rates at the California Public Utilities
7 Commission.

8 Simon, take it away.

9 MR. BAKER: Hi. Good morning, Commissioners and
10 fellow panelists, workshop participants. I'm grateful to
11 be here.

12 I was asked to provide an overview of the
13 investor-owned utilities distribution planning processes
14 and some of the PUC's activities in this space. For
15 reference, the utilities serve about 75 percent of the
16 electric load in the state and they're, obviously,
17 represented on the panel here as well. We'll be hearing
18 from them.

19 Next slide, please.

20 I thought I would begin with some key concepts
21 here. When someone wants to connect to the distribution
22 grid, they either come through the process that guide
23 interconnection or energization. And it's important to
24 clarify this terminology and the distinction between the
25 two.

1 Interconnection is for behind-the-meter
2 generation or storage resources and this is governed by
3 electric rule, the Electric Rule 21 Tariff.

4 Energization on the other hand is for new
5 customer loads such as new housing or commercial
6 development or to connect new electrification loads such as
7 electric vehicle service extensions. These are governed by
8 several different tariffs including Electric Rules 2, 15,
9 16, and for EV service extensions Rule 29 or 45 depending
10 on the utility.

11 The vast majority of requests to come into these
12 processes are able to connect to the grid without requiring
13 upgrades to the distribution grid, at least for now.

14 If upgrades are required, then that goes into the
15 utilities distribution planning processes. Distribution
16 projects or solutions are defined on various time scales
17 and I'm roughly categorizing these into three buckets here.
18 They vary by utility and I imagine they can probably
19 refine.

20 But to kind of simplify, you've got simpler
21 projects such as reconfiguring circuits or installing
22 secondary transformers that can happen in kind of the
23 months to about two years timeframe. You've got more
24 complex projects, such as building new circuits or adding
25 or replacing a substation transformer, and these happen

1 kind of in that three- to five-year range. And that out to
2 five year range is really the focus of distribution
3 planning to date. Then there's the most complex projects
4 which involve substation expansions or new substations.
5 These can take much longer beyond the five year planning
6 horizon, which is more typical of the utilities planning
7 processes.

8 Next slide, please.

9 In 2013, new legislation was enacted pursuant to
10 AB 327 and the PUC opened the Distributed Resource Plan,
11 DRP, rulemaking and implemented a series of decisions that
12 changed how the utilities go about distribution planning.
13 The objective of the DRP legislation is to minimize system
14 cost and maximize ratepayer benefit from investments in
15 distributed resources.

16 But to do that, the PUC needed to put in place
17 various frameworks to increase transparency, oversight and
18 stakeholder involvement in distribution planning. And
19 among them were a requirement to use the CEC's IEPR demand
20 forecast as an input or importantly, in the alternative,
21 the utilities can seek an approved deviation from the IEPR
22 forecast through an advice letter filing. Heretofore, the
23 utilities have not done that.

24 A framework for distribution investment deferral,
25 called the DIF, was also implemented and this is where DERs

1 can be used as alternatives to traditional wires
2 infrastructure.

3 Also, new data is made available publicly through
4 a public data portal so that developers, tribes and local
5 governments can have better information about the condition
6 of the grid where they may want to connect.

7 The utilities were also required to conduct
8 integration capacity analysis, or ICA, to assess the amount
9 of available capacity on the grid at a circuit level for
10 new resources or loads to interconnect. And that
11 information is made available on the public data portal.

12 And also, these new processes were linked to the
13 general rate case process where the utilities received cost
14 recovery for the ratepayer dollars needed to maintain and
15 expand the distribution grid. And the PUC is continuing to
16 refine these processes through a new rulemaking, the high
17 DER rulemaking, which I'll elaborate on a little bit later.

18 Next slide, please.

19 So this is how the current distribution planning
20 process works, at least in concept. And I know this slide
21 is -- there's a lot going on here, but I thought it'd be
22 helpful to see how all these pieces fit together from a
23 timeline perspective.

24 First, it's important to say that the IOUs own
25 and operate the distribution grid under a construct we call

1 the regulatory compact. Essentially, that means that the
2 IOUs, as public utilities, must provide safe and reliable
3 service. And in order to do this, they are provided a
4 reasonable rate of return on the investments that they make
5 for their investors and on behalf of ratepayers.

6 Within this, the IOUs are responsible for
7 managing uncertainty looking out over the planning horizon.
8 And the utilities have an obligation to serve, which means
9 that they need to plan for new loads coming onto the grid.
10 And the grid assets that they invest in using ratepayer
11 monies must be used and useful in order to recover these
12 costs and rates. What this means is that they seek to
13 build these grid assets in a just-in-time kind of way as
14 they are needed. In other words, not building out parts of
15 the distribution grid where the load isn't actually
16 realized, because that would be a poor use of ratepayer
17 dollars.

18 So how does this process work?

19 It begins with the various inputs to the IEPR
20 Forecast. And these include reasonably-expected-to-occur
21 policy drivers, such as energy efficiency, rooftop solar,
22 building electrification, and new ZEV regulations. The
23 IEPR Forecast happens annually. And the forecast feeds
24 into the utility's annual grid needs assessment or GNA,
25 which identifies distribution system deficiencies to

1 determine those grid needs and also looks for no cost
2 solutions through potential load transfers.

3 One of the challenges the utilities need to work
4 with is that oftentimes they must reconcile what are called
5 known loads with what is in the IEPR Forecast. Known loads
6 are basically projects, new developments that they know are
7 coming onto the grid in the short term, in the one- to
8 three-year timeframe out, for example. And the IEPR
9 Forecast inputs for those first few years may or may not
10 perfectly match up to what they are seeing in terms of
11 those known loads. And the utilities have different ways
12 of dealing with that. And it's an issue that we're looking
13 at in our proceedings.

14 The GNA then feeds into the annual distribution
15 deferral process where the utilities prepare what's called
16 a Distribution Deferral Opportunity Report, or DDOR, which
17 identifies planned distribution upgrades and candidate
18 deferral projects for DER alternatives. These non-wires
19 alternatives can typically be used within like a three- to
20 five-year out time horizon where the projects are certain
21 enough in terms of the need, meaning they're not further
22 out than five years, but the need is not too soon to allow
23 for the DER procurement to occur. And this can be thought
24 of as kind of like a Goldilocks zone of sorts. But because
25 of these narrow attributes, a vast majority of the projects

1 are not deferred to DERs. They're done through more
2 traditional alternatives.

3 So once the need is defined, the utilities
4 implement the solution. And as I said, the focus is really
5 mostly five years out. But new ZEV policies are
6 challenging this paradigm. And the utilities are actively
7 working, and we're working with utilities, to figure out
8 how our processes need to adapt.

9 And all of this then feeds into the general rate
10 case process, which sets the budget for cost recovery. And
11 that rate case process happens every four years.

12 Next slide, please.

13 So looking at how this fits into the utilities
14 current GRC process, as previously noted, the utilities,
15 they operate on a four-year GRC cycle. And at present,
16 PG&E and San Diego have GRC filings before the PUC, which
17 were filed in 2021 and 2022, respectively. And Edison will
18 be filing its GRC this month.

19 So as previously mentioned, the IEPR process
20 includes a reasonably-expected-to-occur forecast of load
21 modifiers, such as electrification policies. And there
22 were some big changes that happened in 2021. The CEC, the
23 PUC and the CAISO collaborated to develop an Interagency
24 Electrification Working Group that would take in scenarios
25 looking at future electrification. But a key distinction

1 here is that, really for the first time, some of the
2 proposed not-yet-adopted regulations were included here.
3 And this is kind of a point of departure from how prior
4 forecasting is done.

5 And so now in the 2022 IEPR, we now have a new
6 managed forecast, which includes a whole host of different
7 CARB policies for electrification, some of which are not
8 yet adopted. And so that's a new input that's coming into
9 the Edison GRC process for the first time.

10 Next slide, please.

11 And just to see how this kind of fits into the
12 IEPR Forecast, this slide basically just shows how from the
13 2021 to the 2022 IEPR, what the growth in the forecast was
14 due to this incorporation.

15 Next slide, please. I'm going to go over this
16 slide. Go to the next slide, please.

17 So I want to just give a brief overview of some
18 of the things that are underway. So in the high DER
19 proceeding, it's currently scoped to look at how we can
20 better prepare the grid and distribution planning process
21 for high electrification. It's also looking at what is the
22 appropriate cost recovery venue? Should we continue to do
23 cost recovery in the GRC or other venues? We're looking at
24 how the IEPR process and the grid needs assessment and the
25 GRC alignment, whether there's any tweaks to that that need

1 to happen.

2 And we're also looking at how the utilities are
3 engaging externally with tribes and local governments and
4 developers to do more effective load planning. We have a
5 consultant study that's underway on electrification
6 impacts, and we anticipate that that will be released soon.

7 Another big initiative is that we have a freight
8 infrastructure planning framework that we're working on.
9 This is an interagency collaboration focused on medium- and
10 heavy-duty electrification. We'll be having a workshop
11 soon on this process. And the objectives of that really is
12 to come up with a process for common inputs and assumptions
13 on these sources of new electrification load growth that
14 could be used in the IEPR, the distribution planning
15 process, IRP, and the GRC. And this would be a process
16 that we hope would be useful and informative into the IEPR
17 process, as well, in terms of demand scenarios.

18 And this process is also intended to be able to
19 identify where there are zones on the grid that are ready
20 to electrify, and then also where would be the highest
21 priority zones for long lead time infrastructure to be
22 developed. We're talking about in that seven- to ten-year
23 timeline.

24 And then finally, we have what's called the
25 integration capacity analysis. I was talking about that

1 earlier. It's available on these public data portals. A
2 lot of work has been done to develop that and to refine
3 that and make it accurate and available for use on the
4 generation side on the load side where there are a number
5 of refinements that are underway for it to be more useful
6 for planning on the load side. And the objectives of that
7 work are to really streamline energization applications to
8 reduce the timeframes and increase the certainty of those
9 data and to facilitate the siting of EV charging
10 infrastructure.

11 The utilities have a number of refinements that
12 are underway to make that ICA load data available. PG&E
13 has a timeline that's out to towards the end of 2024 on
14 more of an accelerated timeframe, SDG&E in the third
15 quarter of 2025, and Edison fourth quarter of 2026.

16 So I'm happy to take questions as we close. And
17 thank you for your time.

18 MR. WENDER: Wonderful. Thank you so much,
19 Simon, for sharing that exciting ongoing work at CPUC.

20 I'm now going to turn to our colleagues for a
21 joint utility presentation. Mark Esguerra, who is Director
22 of Distribution System Planning and Strategy at SCE, will
23 be presenting and we'll have Satvir Nagra, who's Director
24 of Asset Planning with PG&E, and Matt Belden, Electric
25 Distribution Planning Manager with SDG&E, available for

1 questions.

2 Mark, thanks for joining and take it away.

3 MS. ESGUERRA: Thank you for that introduction.

4 And thank you, Commissioners, for allowing us the
5 opportunity to brief you on our distribution planning
6 process. As mentioned here, this is a joint utility
7 presentation with SCE, PG&E, and San Diego Gas and
8 Electric.

9 Next slide.

10 So we're going to get into our distribution
11 planning process, but before we do so, if you go to the
12 next slide, we want to give you just a brief overview just
13 to set some context here about where on the grid we're
14 looking at planning here.

15 So as you can see, you had a prior workshop on
16 our transmission system so you can get oriented on what
17 we're focusing in on here. So our distribution planning
18 process is really focused there in kind of that greenish
19 box in the graphic out here. Specifically, it's focused on
20 the distribution substations and the distribution lines
21 that eventually make their way to supply power to our end-
22 use customers.

23 As you can see upstream, it connects to our
24 transmission system. And largely, for the joint IOUs,
25 their transmission systems are not part of the distribution

1 planning process with exception to SCE, where we do have
2 our sub-transmission system, which is part of our CPUC
3 jurisdictional facilities.

4 Our distribution systems are anywhere between 33
5 kilovolts down to as low as 2.4 kilovolts, but the bulk of
6 most of the utilities' distribution systems is around the
7 12 kV portion here.

8 Next slide.

9 So from here, very similar to what Simon had
10 provided in overview, our distribution planning process
11 here is an annual process that the joint utilities perform
12 respectively for the each utilities. There's a lot of
13 different things that go into it. It is a very dynamic
14 process that is factoring in near-time interconnection
15 requests to inform our forecasts. And so it all starts
16 with the assumptions of the projected outlook of the
17 demand, as well as generation that's going to be
18 interconnected on our distribution system. And that really
19 sets forward the initial forecast development phase.

20 From that, it moves into the assessment phase,
21 where we are assessing what our grid is going to need to
22 meet the projected demand. And we do look out, you know,
23 there's a huge emphasis over the next three years, but we
24 look five and even ten years out to understand where our
25 grid is going to require upgrades or retrofit.

1 After completing that grid requirements, then we
2 move into mitigations, evaluating different types of
3 mitigations that would be preferred for our distribution
4 grid, which is then fed into our respective investment
5 plans. And as you can see, the process then is cyclical.
6 As we get more information about where demand is going to
7 be placed at, where generation is interconnected, or other
8 items, that feeds back into our process of our forecasting
9 and development and development of our what we call our
10 base cases to better understand how our grid is going to
11 evolve over the next several years.

12 Next slide here.

13 So from the forecast development aspect, it
14 really all starts with the information we have from the
15 Integrated Energy Policy Report. We use information from
16 the IEPR to inform where we're going to see the growth on
17 our grid. So using that, as well as information that our
18 respective utilities will have more from a local level,
19 looking at historical area loadings, different economic
20 indicators, as well as temperature, to better understand,
21 you know, where that growth is going to occur. So it's
22 really this top-down view, marrying it up with the bottom-
23 up view from the utilities.

24 From there, we'll look at it from -- most of our
25 systems are summer peaking, so we'll look at it from a one-

1 in-ten year temperature adjusted load forecast. And then
2 from there, we'll account for other lows that may not have
3 made it into IEPR such as some of the more recent
4 interconnection request to help shape and inform where,
5 when, which parts of our grid are going to see that demand.

6 From the DER side, we also use the CEC's forecast
7 for DER growth disaggregated down to our circuits and
8 substations. And what's really important here as we start
9 to, you know, advance further in our in our planning is
10 understanding what the different hourly profiles are for
11 these different DERs. And the DERs include solar, energy
12 efficiency, demand response, storage, as well as electric
13 vehicles. So you have DERs that can either consume load,
14 as well as help decrease load in our system, so all that is
15 put into play into our overall forecast.

16 Other things that we are involved in here is, on
17 an annual basis, there's a Distribution Forecasting Working
18 Group where each utility will share kind of their
19 information from the IEPR, get alignment from this working
20 group on how to disaggregate that that load, so it's done
21 in a in a stakeholder forum.

22 Some things here to point out is that the CEC has
23 made some significant enhancements to their IEPR
24 methodology, particularly raising kind of the 2022 forecast
25 compared to the 2021 forecast. It factors in the various

1 transportation electrification, TE, and the building
2 electrification policy objectives, which is definitely
3 going to show up on our system to help us better identify
4 where and when we're going to need additional
5 infrastructure to meet that projected growth.

6 And so this is a lot of the things that are going
7 on in the forecast space.

8 I will say for Southern California Edison, since
9 we are in our rate case filing cycle, we've also factored
10 in a transportation electrification grid readiness forecast
11 that happened prior to this 2022 IEPR, which aligns pretty
12 closely with what we're seeing here. And it was one way
13 for SCE to be able to plan for additional facilities prior
14 to some of these forecasts as being updated and revised.

15 Next slide.

16 And so once the forecast is dialed in and spread
17 out through our grid, we now have -- we move into our
18 assessment phase and really focused in on where are we
19 going to see additional need for capacity, and so we've
20 been calling that determining what the grid requirements
21 are. So we'll look at the projected demand and DER
22 forecast and its affect on the existing grid. And we're
23 really focused on trying to ensure that the grid is safe
24 and reliable to meet our customers' needs.

25 We're also looking at projects that we've already

1 approved and have those modeled into our systems to
2 understand are those projects still sufficient? Are there
3 additional enhancements needed on those projects?

4 And then we're also looking to ensure that we can
5 operate the safe transfer of demand under various emergency
6 conditions. So we'll study our system to understand, you
7 know, during certain contingencies, are we able to serve it
8 from different parts of our feeders?

9 We'll factor in the different geographical load
10 and customer mix to see how that varies in terms of the
11 demand. And that goes back to the forecast, understanding
12 the diversity of when the load peaks. And we may look at
13 other scenarios.

14 This is very local knowledge, too, as well. So
15 the help of our local system planners that are closer to
16 boots on the ground where the requests are can help us
17 calibrate our results to see, is it aligning with what we
18 have been seeing in the past.

19 Particularly, we are focused on trying to
20 identify our equipment when our capacity is expected to be
21 exceeded, and we've been calling that thermal capacity
22 needs, as well as ensuring that we have good power quality
23 and voltage. So that's really important for, particularly,
24 with our customers having more sophisticated devices, the
25 quality of power, the stability of voltage is going to be

1 really important, so we check for those as well. And we
2 identify if there's going to be additional grid upgrades to
3 be able to comply or have our grid meet those needs.

4 Next slide here. The next slide.

5 After we've completed our assessment, we take a
6 look at all those grid needs and we start evaluating, what
7 are the various options we can go about, you know,
8 upgrading our grid? And as was mentioned earlier, for all
9 the utilities, we try to focus on what are some of the no
10 cost options first? How do we take advantage of the
11 existing grid? And a lot of that work is through the work
12 of our distribution system planners, our distribution
13 operating engineers, understanding are switching solutions
14 going to be effective? What does that look like? Are
15 there some smaller upgrades that we can do to transfer a
16 load between feeder and other feeders to be able to meet
17 the projected needs?

18 Once those are exhausted, then we start looking
19 at are there incremental upgrades, smaller-scale upgrades
20 that could serve kind of the load? And then from there it
21 progressively goes into larger upgrades such as are there
22 going to be a need to build new distribution lines or
23 increase the bank or capacity size at our substations, as
24 well as are new substations going to be needed here?

25 And then the other area that we'll look at, once

1 those options are identified, we'll also try to understand,
2 are there DER solutions that can help us defer some of
3 these upgrades for a later timeframe?

4 So some of the things that we're really focused
5 on here as we go about that is obviously cost effectiveness
6 is really key, but also ensuring that whatever upgrades we
7 do recommend that it does have a plan to meet all
8 requirements that are needed so to ensure that we have
9 safe, reliable, high quality of power for our customers
10 there.

11 So things that when you look at roughly, from a
12 timeline perspective, some of the different upgrades that
13 are involved, you saw this earlier in Simon's presentation,
14 some of the smaller upgrades can take anywhere between one
15 to three years, but the medium-size upgrades, new feeders,
16 increase in capacity size, infrastructure takes time to
17 build. So we're looking at potentially about three to five
18 years for those upgrades. And then some of the larger type
19 facilities that could require significant types of
20 permitting or review from the large to very large can vary
21 anywhere between four to six years, and if it's larger
22 substations, in some cases it could be roughly seven years
23 plus.

24 And so these are things here that as we are
25 building our grid and factoring in these large

1 transportation electrification loads, building
2 electrification loads, it becomes ever more important for
3 utilities to get some of the information early to start
4 that process and to start the deployment of some of this
5 infrastructure.

6 Next slide here, which leads into kind of like
7 some ongoing improvements. So some things that all three
8 utilities are working on and we're looking to further
9 enhance and improve in this area is how do we engage some
10 of these customers earlier and often, particularly from a
11 transportation electrification side, engaging with our
12 fleets, our ag customers, those customers that are
13 electrifying to help understand what their multi-year
14 forecast is going to be? And from that, really, that can
15 help inform our forecast, along with the information we
16 have from the IEPR, so that we can start proactively
17 planning for those facilities.

18 We're also looking at how we leverage some of the
19 existing outreach efforts we already have today with
20 communities and customers so that we can collect some of
21 that information early on to build it into our plans.

22 We mentioned this earlier, some other
23 improvements, the work that the CEC has done on IEPR I
24 think is fantastic. We're seeing that is helping us kind
25 of build out.

1 The other area that we're looking at is how do we
2 find ways to continually look to improve the tool sets that
3 our distribution system planners have? And we'll hear a
4 little bit more about this as we get into the
5 interconnection side, as well, but this is true for
6 planning, simplifying our ability to identify where and
7 when growth is going to occur as well as processing our
8 interconnections.

9 And then, you know, looking at how to leverage
10 some of the integration capacity analysis information to
11 help identify where are there capacity opportunities on our
12 grid? And then things that we talked about is load
13 management to help bridge the gap with some of our larger
14 interconnections. How do we take advantage of those type
15 of solutions and where the utilities can also, you know,
16 start to better orchestrate the flexible loads and
17 resources to really help optimize the capacity that they
18 have on their grid?

19 I know I'm running out of time there, so from
20 there I'll hand it back to you, Ben.

21 MR. WENDER: Wonderful. Thank you, Mark.
22 Incredibly helpful overview and rich context for
23 discussion.

24 Next I want to invite Harry Marks, he's Manager
25 of Distribution Planning with the Sacramento Municipal

1 Utility District, to share their approach and some of their
2 upcoming initiatives.

3 Take it away, Harry.

4 MR. MARKS: Alright. Thank you, Ben.

5 And thank you to the CEC and Commissioners and
6 staff for the opportunity here to share SMUD's Clean Energy
7 Plan and how our distribution planning process supports
8 that.

9 So next slide. One more. There we go.

10 So SMUD is the sixth largest community-owned
11 utility in the country with over 75 years of service. We
12 frame every issue in the local light, which means our
13 customers and community are the heart of everything we do.
14 Keeping the lights on and our rates affordable have always
15 been two most important things to our customers. Our
16 customers also expect us to be responsible stewards of the
17 environment and was part of what led us to really focusing
18 on a clean energy vision.

19 So next slide.

20 When we talk about our clean energy vision, we
21 came up with a SMUD Zero-Carbon Plan. And so the plan
22 focused on four main areas, which are shown in this slide.

23 The first is our natural gas generation
24 repurposing and retooling. You know, based on our
25 reliability studies and overall grid impact, we'll evaluate

1 our existing gas generation plans for potential retooling,
2 refueling, or replacing with renewables.

3 You know, our second goal there is proven clean
4 energy technology. These are resources that are already in
5 our portfolio like wind, solar, geothermal, hydro, biomass,
6 short duration battery, electrification, demand response,
7 and all those. These proven technologies will get us 90
8 percent of the way to our zero-emission goal, and that
9 includes the 3,000 megawatts of renewable storage that we
10 have planned, including the 1,100 megawatts that we plan to
11 have online in the mid decade.

12 As you can see by this slide, these first two
13 work streams account for about \$2.5 billion investments.

14 The third is our new technology and business
15 models for potential partnership. The biggest challenge
16 will be closing that remaining ten percent gap. This
17 includes working with our partners in researching,
18 piloting, and bringing new technologies to scale. This
19 work will help us identify potential partnerships and
20 business models like virtual power plants and launch pilot
21 programs to test emerging technologies. We plan to invest
22 around \$2 billion in the new technology and business space
23 through 2030.

24 Then our final work stream is our financial and
25 regulatory strategy. This will focus on the estimated cost

1 range and associated rate impacts, which we're doing
2 everything to minimize for our customers. We know there
3 are new technologies out there that aren't market ready now
4 but do show a great promise for the future. And so for us,
5 at our standpoint, there's no solution that's off the
6 table. We're wanting to look at all these as far as
7 opportunities.

8 Next slide.

9 So moving to SMUD's specific distribution
10 planning process, our primary goal is to ensure SMUD's
11 distribution system has sufficient capacity to safely,
12 reliably, and cost effectively serve our needs of our
13 customers.

14 So our distribution planning assessment starts
15 with our ten-year integrated forecast that includes load
16 like building electrification, normal load growth, our EV
17 forecast, the impact of DERs. We also include our local
18 jurisdiction's general plans and specific area plans,
19 tentative maps, customer development plans, our own system
20 criteria, our planning criteria, and historical
21 performance, and all that goes into our assessment. The
22 team works through those. They model all our circuits.
23 Through that process, they identify where we have
24 deficiencies, and that rolls into our five-year Capital
25 Investment Plan.

1 Next slide.

2 I wanted to talk about our forecasting here just
3 briefly. So our forecasting is typically about one percent
4 growth as far as our annual load growth, that's our
5 unmanaged one-in-ten weather scenario, and that's based on
6 SMUD's internal load research and forecast. We define a
7 one-in-ten scenario as 110 degrees is the high, and then
8 the low being above 70 degrees for multiple days. So the
9 scenario includes our core load growth, our incremental and
10 new large commercial loads, building electrification, which
11 at this point we spread evenly, as well as electric
12 vehicles, we spread that growth evenly across our system,
13 and then our DERs that we have mapped into our system.

14 Next slide.

15 So our planning criteria, first we make sure that
16 we can serve the load. So under peak conditions, we want
17 to make sure that none of our facilities exceed their
18 normal rating. And then under emergency condition, like an
19 N-1 scenario, we can bait (phonetic) and restore all the
20 customers and not exceed the emergency rating of the
21 equipment. We want to make sure our design of our system
22 is flexible. We have strong feeder ties, so we can switch
23 load for clearances or to restore customers after an
24 outage.

25 From an efficiency standpoint, we want to make

1 sure we maintain the efficiency of our system and try to
2 run it near unity power factor at the distribution system
3 level.

4 And then stability level, we want to make sure
5 that, you know, we're maintaining service voltages and
6 power quality within the ANSI standards.

7 And on coordination, we want to make sure we
8 install these facilities as development is occurring. We
9 want to coordinate our capital investments, also taking
10 account when we have aging infrastructure replacements that
11 we're upsizing our facilities for future EV and building
12 electrification growth.

13 Next slide.

14 So we talk about the future distribution
15 forecasting and modeling. As we looked at how we've done
16 it historically, our existing tool certainly wasn't what we
17 needed to really do a good job of looking into the future.
18 So we're in a process of upgrading our load forecasting
19 tool. And our goal is to be able to get better timing,
20 location, and the amount of electrification, to be able to
21 model that better, site-specific electrification for our EV
22 growth, be able to leverage the information from CARB and
23 DMV as far as EV data.

24 And just here recently, we finished up a medium-
25 and heavy-duty impact analysis. We want to take the

1 results of this study, as well as others, and incorporate
2 them into the model.

3 Then lastly, be able to model the DER impact that
4 includes combined solar and battery storage.

5 Next slide.

6 So when we look at planning for electrification,
7 it boils down to, at least for me, for three big questions.
8 When is it going to happen? Where is it going to happen?
9 And how much?

10 We need to incorporate many new elements in
11 planning than we've had to do in the past. So we need to
12 be able to forecast the impacts of EVs, DERs, building
13 electrification.

14 We need to look at our interconnection process
15 and make sure it's streamlined and meets the needs of our
16 customers, and that includes interconnection of DERs, as
17 well as also connecting new customer load to our system.

18 We want to make sure we have strong partnerships
19 with our agencies so we can fast track large improvement
20 projects.

21 We want to rebuild and install the new
22 infrastructure in advance of new loads, so when we have
23 particular areas where we're seeing strong interest along
24 our major highways and corridors, start to be thinking
25 about making those upgrades to our bulk system early,

1 knowing that this is all coming to us.

2 We also wanted to talk about the public outreach
3 and educating our customers. Currently, there's a lot of
4 misinformation that's out there that's sort of confusing
5 for our customers. And our goal in some of our campaigns
6 that we've started is really trying to encourage our
7 customers to reach out to SMUD and the utility first before
8 they dive into their plans for electrification, for
9 purchasing a new electric vehicle, or even electrifying
10 their electric fleet.

11 So then lastly, we want to also ensure that our
12 workforce, we're developing a workforce that's ready to
13 help us build and support the future grid.

14 And then lastly, I want to talk about something
15 that's very important is managing charging and managing our
16 loads. We've done some initial research in this area on
17 our medium- and heavy-duty impact study. We saw just
18 simply by modifying some of the charging times to keep them
19 out of the peak hours, we could literally cut the impact to
20 load as well as the cost of capital upgrades half over a
21 20-year study period.

22 So managing charging, whether it be done
23 voluntarily through rates or even utility control is going
24 to be very important as we move forward here in the future.

25 So that concludes my remarks and my presentation.

1 MR. WENDER: Wonderful. Thank you, Harry. And
2 I'm going to pass it quickly to Commissioner Monahan
3 because I've packed way too much into this agenda and
4 haven't left enough time for discussion.

5 Thanks, Patty and everybody.

6 COMMISSIONER MONAHAN: Great. I just encourage
7 my fellow members of the dais to hop on to the video.

8 And there was a lot in here. I've got to say,
9 this was packed. I was taking notes furiously. And I want
10 to lift up something that Simon had talked about: of the
11 many activities that CPUC is engaged in, the freight
12 infrastructure planning framework, which I think really is
13 an opportunity to kind of expand. I wouldn't say we're
14 giving up just-in-time planning, but we're really trying to
15 be more proactive in identifying where the load is going to
16 be and planning for that future load.

17 And my question, I think maybe it starts with
18 Mark and the other folks from utilities, around just how --
19 you mentioned fleets in your presentation, about doing more
20 outreach to fleets. I talk regularly to the charging
21 providers for both light-duty and medium- and heavy-duty.
22 And I'll just focus on the light-duty side right now
23 because I think we're covering more on the -- I'm assuming
24 the fleet side was more medium- and heavy-duty, but you can
25 tell me if I got that wrong.

1 I'm curious about how you're thinking about
2 planning for light-duty charging? We're seeing a lot more
3 interest in fast charging. Charging is getting faster and
4 faster. I mean, even with the Tesla semi, too, we're
5 talking about a megawatt charger to be able to get to two
6 hours of fully charged semi that would go 500 miles. So it
7 is quite, I would say, you know, fascinating to see how the
8 market is evolving towards faster charging, which presents
9 some challenges, of course, for the grid, some
10 opportunities too, depending on how we can flexibly charge.

11 But can you talk, Mark, Satvir, about where
12 you're seeing -- and Matt, where you're seeing this
13 charging, the light-duty, especially on the light-duty
14 side? I mean, Tesla is telling us they want to double
15 their supercharging network in the next two years. That's
16 a lot of chargers, superchargers. So how you're thinking
17 about planning for the light-duty load?

18 MS. ESGUERRA: Yeah, thank you, Commissioner
19 Monahan. I'll start off first and then I'll definitely
20 have the other IOUs speak out on theirs.

21 But for SCE, we have been doing our own
22 engagement more individually with different charging
23 station developers on the light-duty side. We've also been
24 monitoring our application count. And just to give you
25 guys some numbers, you know, I was taking a quick look over

1 the last two years of applications, we've had about, in
2 terms of applications that are for interconnecting more
3 like light-duty, about 500 kW and above, we had about 700
4 plus applications over the last three years, I think two to
5 three years. And what we've noticed is we started to see
6 kind of like, year over year, not only has the application
7 number gone up, but we've also noticed that the size, the
8 average size that they're coming in have slowly increased
9 as well.

10 And so we've been tracking and monitoring the
11 different EV charging station vendors, where they're
12 proposing to put onto the grid. We've been trying to,
13 working to engage with them to try to understand some of
14 their longer term plans. And from that, we use that
15 information to inform our forecast. And we're also seeing,
16 you know, I think from the light-duty side, we are seeing
17 those locations pop up, particularly in a couple of
18 strategic kind of areas. But, you know, it gets
19 intermingled with some of the areas that we're seeing from
20 the medium to heavy-duty side.

21 So we're seeing some of these things pop up in
22 areas that, largely, are around transportation corridors
23 where we expect, you know, drives to occur where charging
24 going to occur. So we're taking that information and
25 building it into our forecast and then continue setting up

1 the engagement with these fleets.

2 Something that Edison is also looking at is kind
3 of have a larger fleet operator workshop, fleet EVSE
4 workshop, to not only share where we're looking to expand
5 our grid, where we're thinking we're seeing the growth, but
6 also to get their input as well.

7 So I'll hand it off to my other IOU colleagues.

8 MR. NAGRA: Great. Thanks, Mark.

9 With PG&E, we're doing similar things; right? We
10 understand from light-duty EVs, the charging is along the
11 highway corridors. That's a big, big need. We're working
12 with the, you know, EV charging station owners, developers.
13 We're trying to get their long-term plans. Most of them
14 are, you know, very forthcoming and providing what they
15 need over the longer term so that we can plan for it,
16 include it in our forecast, and start doing proactive work,
17 planning for that proactive work.

18 We're also working with the fleets, as well,
19 similar to what Mark stated, right, trying to find out what
20 their long-term plans are, what their load profiles look
21 like? When are they going to be charging.

22 You know, one of the things I would like to
23 mention with the light-duty, right, when we're talking
24 about fast charging, when we're talking about DC fast
25 charging along the highway corridors, right, those are high

1 demand. The loads for those applications are steadily
2 rising; right? It's no longer 1 to 3 megawatts. It's no
3 longer 5 to 10 megawatts. We're looking at 10 to 20
4 megawatts at individual stations is what we're getting.

5 We're also working in, you know, more urban
6 suburban areas with DC fast chargers developers who are
7 looking at putting in bigger stations for autonomous ride
8 sharing and other public DC fast chargers. So those loads
9 are increasing. We're seeing them.

10 We're talking to the various vendors and we're
11 trying to get their forecast, their profiles, make sure we
12 account for that in our annual planning. Of course, like
13 we stated, right, it is an annual planning process and
14 we'll continue to incorporate that into our forecast so
15 that we can get proactive going forward.

16 MR. BELDEN: Yeah, for SDG&E, very similar
17 approach. Customer engagement is key; right? That's
18 critical because that's specific locations, specific
19 customers and we can get together with them and plan for
20 their long-term electrification plan. So that's the key
21 point, one.

22 The other thing I would probably mention is how
23 critical the IEPR is; right? Just in a matter of three
24 years, right, if you look at the light-duty component and
25 the MDHD component, they've changed significantly in a

1 three-year window; right? So the better information we
2 have, the better the IOUs are able to plan and leverage
3 that data into our process.

4 For SDG&E, for example, the light-duty component,
5 our model, we are already taking vehicle registrations, TAC
6 credits, fuel prices, historical adoption. We bring that
7 into our model. We try to forecast where they will be
8 adopted at a zip code level, and then the following year,
9 we line that up with actual data to adjust our model.

10 So it is very granular the way we plan and try to
11 forecast where these loads are going to materialize by a
12 zip code level and then we disaggregate to our circuits and
13 substations within those zip codes.

14 And I know you mentioned the FIP effort, which I
15 think is fantastic. All of the IOUs are partnering in that
16 effort. But that is going to be specifically driving the
17 MD/HD component; right? That is going to give us more
18 valuable information, so in next year's DPP, we have more
19 information. We can go in and better disaggregate that
20 component along our corridors and the areas that we are
21 concerned. So that effort, I believe, will also help all
22 of our methodologies in that respect.

23 COMMISSIONER MONAHAN: Thank you.

24 I want to pass it to Commissioner Reynolds.

25

1 COMMISSIONER REYNOLDS: Thank you, Commissioner
2 Monahan. I have a question that is best addressed to the
3 utilities.

4 I imagine, as you are going through the planning
5 process and you are taking input from different project
6 developments, different load requests, as you're working
7 with different customers, you're generating lots of data
8 about timelines to upgrades necessary to serve those
9 customer loads, and talk about some of the disaggregated
10 nature of this work, I wonder if you perform some analysis
11 about that data and those timelines to better understand
12 which communities in particular are facing recurring longer
13 than typical timelines to meet new loads? Particularly, in
14 many different areas, we evaluate programs to understand
15 how much they are serving disadvantaged communities in the
16 state.

17 Do you perform any analysis of the difference
18 between disadvantaged communities and communities that
19 don't qualify as disadvantaged in terms of having their
20 distribution capacity needs met?

21 MR. BELDEN: So maybe I will hop in on this one,
22 Mark.

23 So SDG&E, right, we -- and this is in terms of
24 our capacity planning, the distribution planning, the
25 context of the conversation, right, through our processes

1 is where we identify the grid needs; right? So if we have
2 a customer coming to us and we have that outreach to all of
3 our communities, tribal, local governments, cities
4 directly, we have that outreach and that is where we gather
5 the information on the needs of those communities and the
6 needs of those specific customers; right? So that is where
7 that outreach takes place.

8 When it comes into the distribution planning
9 process, right, that is an input into our process. And
10 then we apply our planning, our methodology, and that is
11 part of that where we will then identify all the grid needs
12 that we have in our system. And for SDG&E we treat all of
13 our grid needs equally; right? We don't differentiate a
14 grid need in a certain community versus a different
15 community. We address all of those to make sure we are
16 equally serving all of the grid needs and all of the
17 communities within SDG&E territory.

18 COMMISSIONER MONAHAN: President Reynolds, I
19 believe, has a question.

20 PRESIDENT REYNOLDS: Sure. Thank you,
21 Commissioner Monahan.

22 So my question is for SMUD. And really
23 appreciated hearing the description of, you know, things
24 that you're doing to improve service to your customers, and
25 as well you mentioned, you know, bill costs and recognizing

1 that the work that is done on the distribution system
2 generally does flow into electricity rates, so flows into
3 bills. And I appreciated the comment that you made about
4 managed charging for electric vehicles and that that can
5 sometimes help.

6 I was wondering if there's anything else to say
7 there in terms of vehicle-to-grid integration? So are you
8 looking at either, you know, vehicle-to-home or vehicle-to-
9 grid powering? And do you see that as part of a solution
10 or not? Is that something that's not helpful in terms of
11 managing costs to -- bill costs that show up on ratepayer
12 bills?

13 And then also thinking about, you know, the
14 other, what I heard, was the emphasis on making sure that
15 timely interconnection and energization happens for your
16 customers.

17 And then I'll add on a little bit to my question,
18 if there's time, to ask if there's any kind of, you know,
19 external factors that would help? So you talked a little
20 bit about things that SMUD is doing. You know, I
21 appreciate, you know, the thoughtfulness that's going into
22 the planning and the work on the distribution side. But
23 any external factors, local government actions or anything
24 else, that would help with both timeliness for energy,
25 energization and interconnection and managing costs that

1 end up on customer bills?

2 MR. MARKS: Sure. So starting off first with
3 vehicle-to-grid and vehicle-to-everything and then some of
4 those, we do have some pilot projects that are underway in
5 that space, so we're trying to learn about that and what
6 the potentials are for there. But as I mentioned, we're
7 open to all the technology opportunities that are out there
8 and we'll look to pilot new stuff that's coming out and see
9 how this could play and that is help us out, or sometimes
10 they don't work out, so we're very open to that. And like
11 I said, we've got some things going on that.

12 In regards to help from other agencies in that
13 space there, this is, you know, easements, access, freeway
14 crossings, normal process for permitting, and all that and
15 all that adds into the overall process or our customers
16 experience when they ask to connect a new load. So to the
17 extent that we can streamline some of these permitting
18 processes, easement process, certainly will help out with
19 our customers in trying to make these system upgrades that
20 we need to do.

21 PRESIDENT REYNOLDS: Great. Thank you.

22 COMMISSIONER MONAHAN: Alright, I think that's it
23 for questions from the dais, so I'll pass it back to you,
24 Ben.

25 MR. WENDER: Thanks very much, Commissioner.

1 COMMISSIONER MCALLISTER: I've actually got a
2 quick question if you don't mind. Is that okay? It is
3 okay, Ben?

4 COMMISSIONER MONAHAN: Oh, sorry, I didn't see
5 your hand.

6 COMMISSIONER MCALLISTER: Sorry. No, I just
7 raised it. Sorry.

8 I guess I'm wondering, all the utilities, just
9 are there -- just qualitatively or with examples, how has
10 upgrading the distribution grid changed? You know, you
11 talked about the loads and sort of the need to really like
12 be responsive to this coming load growth, and that's a
13 challenge in and of itself.

14 But when you do upgrade a distribution line,
15 maybe a conductor, you place poles, whatever the sort of,
16 you know, nuts and bolts, you know, poles and wires and
17 brick and mortar things that historically you've done, are
18 there additional considerations, you know, controls, your
19 status systems, say, or new controls that you sort of are
20 also including in your plans to enable the active
21 management of the distribution grid going forward to, you
22 know, data collection, managing all the EV charging, sort
23 of what other infrastructures that are sort of for the
24 digital age are you including in your upgrades? How is
25 that changing with time?

1 MS. ESGUERRA: I can start off here. That's a
2 great question there. That's actually a big part of some
3 of the ongoing improvements that we're looking as part of
4 our planning process. There is going to be the ability to
5 manage loads. You're going to have a lot of flexible load.
6 And as was mentioned earlier, you know, the managed
7 charging is going to help stretch out our existing
8 infrastructure.

9 So what Edison is looking at as part of their
10 Grid Modernization Plan is that we are looking at enhancing
11 kind of a load management-type platform integrated with our
12 DERMS and our other DER solutions, something that could,
13 you know, take in that information from some of the third-
14 party charging station information so that we could, you
15 know, better -- whether it's through a signal from rates or
16 from a program or direct control, I think that stuff still
17 needs to be kind of worked out throughout our roadmaps, but
18 we are factoring that into our longer term plans.

19 MR. NAGRA: Yeah, this is Satvir for PG&E.

20 Very similar; right? Everything we're building new,
21 whether it's new circuits, whether it's new substation
22 transformers, upgrades in substations, right, our standards
23 going forward is to include, right, SCADA systems, making
24 sure that all that data is going to get back to the ADMS
25 systems we're working on and the DERM systems of the

1 future.

2 So everything we do and we build today takes
3 automation into account because we want to make sure we
4 have visibility into the system and we don't put, you know,
5 any new circuits in or any new equipment in that isn't
6 SCADA capable, that isn't SCADA, and that can't go back to
7 the control centers where we can have active monitoring of
8 all the data that's required on the system and then allow
9 us to, in the future, do the load management, integrate
10 with our DERM systems that are going to be coming. So
11 that's just standard practice going forward.

12 MS. ESGUERRA: I did want to add one thing with
13 that. We do believe that the load management is going to
14 be a part of it, but it's not the only solution. We still
15 see the need for significant infrastructure to be developed
16 and deployed earlier. We do see the load management could
17 help us bridge while that infrastructure is built, but it
18 likely will not be able to keep up by itself because of the
19 demands that we're seeing.

20 For the SCE area, we're looking at roughly over
21 the next, for our GRC cycle, roughly an eight percent
22 growth. We're seeing the need to develop new substations
23 where we weren't expecting to see them, and load management
24 will help but it's not the only solution.

25 I just didn't want to leave you with that, that

1 that's going to solve all the problems here. We still need
2 to start the early planning to develop those solutions so
3 that by the time we actually can build, get those things up
4 and running, that we're not leaving customers without.

5 COMMISSIONER MONAHAN: I believe President
6 Reynolds has another question.

7 PRESIDENT REYNOLDS: Yes. Thank you. So I have
8 a question for the IOUs in the description of the planning
9 work and the execution work that you're doing to match the
10 needs of customers. So, you know, if you have a customer
11 who has a need for either interconnection or energization,
12 you know, my assumption is the customer really relies on
13 the grid to be there and kind of, alright, we're ready with
14 our project.

15 You described timelines from, you know, short
16 timelines to a number of years that it might take for
17 either grid upgrades or the work that you need to do to
18 serve the customer. Can you describe what might go into a
19 long timeline? So I think someone mentioned three years or
20 so. Imagine the longest timeline for either energization
21 or interconnection and what are some of the things that
22 make it take so long?

23 MS. ESGUERRA: I can start off. Probably the
24 largest item would be if we had to build a new substation.
25 And you know, that's why we want to have early intel on

1 where we're seeing the demand growth, be able to get
2 confidence that the load is going to be there. And some of
3 the challenges there is finding space, getting the land to,
4 basically, land some of the new substations. And depending
5 on the size of the power requirements that substation may
6 require, may require a bigger footprint. And so getting
7 the substation sited is one, as well as now trying to
8 identify the neighboring transmission lines or distribution
9 lines, they're going to be piped in and those will require
10 a different additional routing and siting, you know,
11 crossing through various geographies.

12 I'd say those are probably the largest items
13 there that really take up a lot of time is on the
14 permitting, licensing, land acquisition phase. So those
15 are probably maybe the largest timelines there.

16 MR. BELDEN: Yeah, and I would say, I would add
17 even on a three-year window, right, for distribution. For
18 distribution facilities, right, there's lead time. We've
19 got permitting. We have to go through design; right? As
20 you go through design, there's field walks. You ensure
21 right-of-way access where you're actually going to be
22 building if you're undergrounding or if it's overhead, the
23 type of equipment that will be needed; right? So there's a
24 lot of time to study, to make sure what you're building is
25 the appropriate solution for the customer and can be

1 designed and constructed to meet their timeline.

2 So there's a lot that goes into that. And the
3 construction and design lead time permitting is also
4 factors into a lot of that.

5 MR. NAGRA: And then the last thing I'll mention,
6 everything Mark and Matt said, but also supply chain;
7 right? If we're building new putting in new equipment and
8 substations, you know, breakers, transformers, those have
9 quite a long lead time as well. So the supply chain also
10 comes into play on there.

11 And then the other thing I'll leave with is
12 right, want to make sure right, every interconnection we
13 get doesn't require capacity upgrades or these long term
14 upgrades; right? There's plenty of interconnections we
15 make where we don't need to upgrade the bulk system, right,
16 the primary system on the distribution side. So there are
17 a lot of interconnections that are just simply that, just
18 interconnections and they can come up to load.

19 But then where work is required and we have those
20 longer timelines that we showed, you know, all these play
21 into that, supply chain, land, permitting, being able to
22 route transmission lines, route feeders, all of that plays
23 into those timelines.

24 COMMISSIONER MONAHAN: So I know we've gone a bit
25 over, 15 minutes over maybe, so I want to check in.

1 Ben, should we keep moving or --

2 MR. WENDER: I think let's try to push on. We'll
3 have to do a hard stop at 1:10, so let's push to the next
4 panel. And then Vice Chair and any other questions,
5 hopefully, can come up.

6 This next panel, we'll shift the focus from the
7 long-term planning to the immediate processes for
8 interconnecting, energizing resources. I want to introduce
9 Matt Coldwell, he's Program Manager at the CPUC, to give us
10 an overview of existing rules and processes.

11 Matt, thanks for joining.

12 MR. COLDWELL: Alright. Thanks, Ben.

13 I guess it's still technically morning, so good
14 morning, Commissioners, on the cusp of good afternoon here.

15 So next slide. I'll just jump right into it to
16 make up some -- hopefully make up a little bit of time
17 here.

18 So you saw a similar slide earlier from Simon on
19 this point and I think it's really worth re-mentioning.
20 And really one of my hopes, that the audience walks away
21 today is kind of an understanding that there are these two
22 different types of connections to the distribution system
23 and they are quite different.

24 So interconnection, which we've talked quite a
25 bit about today, is its own process and it's specific to

1 generation generally, but within the distribution context
2 and the context of today's discussion, talking more about
3 behind-the-meter generation and energy storage. And the
4 rules that govern that at the distribution level at least
5 are Rule 21 for CPUC jurisdictional projects, and then
6 there's the Wholesale Distribution Access Tariff that are
7 wholesale projects that are governed by FERC or overseen by
8 FERC.

9 The other type of connection is energization. So
10 I think we're starting to use that word a little bit more
11 here and it's another way of saying service connection, and
12 this is referring to customer loads. And as Simon noted,
13 and as noted here, there are several different rules that
14 govern energization and we'll talk a little bit more about
15 those here shortly.

16 So next slide.

17 So interconnection, I'll focus first on the
18 CPUC's Rule 21 interconnection. So this has a longer
19 history. And this slide obviously illustrates it in sort
20 of the broader electric sector historical context. And I'm
21 not going to cover this entire timeline, but I do want to
22 call attention to the past 15 years or so starting with the
23 California Solar Initiative back in 2007-ish.

24 So really, the CSI, the Solar Initiative, really
25 jump-started a revolution in behind-the-meter rooftop solar

1 projects. And when you combine that policy with
2 innovations and financing and decreases in solar panel
3 costs, the behind-the-meter solar market really took off
4 and we were in a place where it was outpacing the legacy
5 rule that governed the interconnection of those resources,
6 which is Rule 21.

7 So about circa 2011, in response to this there
8 was a Rule 21 settlement that was developed and it had the
9 goals of -- it had several goals, but generally speaking,
10 developing a timely more predictable and transparent
11 distribution interconnection process. And over the past
12 ten years or so this stakeholder process has had
13 significant participation from stakeholders and it's been
14 seeing some successes in establishing clear rules and
15 schedules for these behind-the-meter resources to safely
16 interconnect to the distribution, the utility distribution
17 system, and I'll cover those a little bit more in detail in
18 the next slide.

19 So more recently, with the second phase of the
20 proceeding, you know, while there's been significant
21 progress made to date, you know, this work still continues
22 to go on on interconnection, and really, you know, focusing
23 on Phase 2, you know, just wanted to take a second to
24 highlight the extensive amount of work, the stakeholder
25 work, of recent activities.

1 So there's been several different working groups
2 that are focused on various elements of the interconnection
3 process and all with kind of the general goal of
4 streamlining the process, establishing clear processes, and
5 enhancing the integration capacity of the utility system,
6 as well as including establishing rules and standards for
7 interconnecting V2G capabilities on the EV side. And so
8 these some of these working groups have already produced
9 results and others are still ongoing.

10 Next slide.

11 So just to highlight a couple of the successes
12 here of a couple of the working groups.

13 So Working Group 1 led to a decision that really
14 provides transparency into some of the utilities metering
15 practices, as well as requirements for non-export relaying
16 controls for solar plus energy storage system.

17 Working Groups 2 and 3, and then the V2G-specific
18 working group, which was an offshoot for from, I think,
19 Working Group 3, so collectively these groups have issued a
20 decision that incorporates the integration capacity
21 analysis into the integration process. And what that
22 really enables is something recently that we've been
23 working on is having the customers submit limited
24 generation profiles for their projects. So essentially,
25 the particular project varying through time to be able to

1 stay within the ICA values on a particular circuit on the
2 utility system to avoid distribution upgrades.

3 Additionally, there's been some clarification
4 around the rules that are applicable to the interconnection
5 of EVSEs and various configurations. I'll just note that
6 V2G for electric vehicle supply equipment can now be
7 interconnected under the Rule 21. That's a fairly recent
8 development. Initially, the decision provides some options
9 for using less costly power control systems instead of
10 relays for system that are considered to be non-export or
11 limited export.

12 So next slide.

13 So shifting focus away from interconnection to
14 energization. So as noted before, there are different
15 rules for different components of energization. So Rule 15
16 is specific to distribution line extensions, so any new
17 distribution lines that are needed to be built as to serve
18 a customer. Rule 16 is specific to service extensions, so
19 it's the equipment that's needed to connect the customer to
20 the distribution system. Both of those are generally the
21 costs are generally covered by ratepayers but to some
22 extent they could be -- the customers themselves could be
23 responsible for some of those costs, and I'll cover that in
24 just a second.

25 Rule 2 is not as -- it doesn't seem to be as a

1 rule that applies as much as Rule 15, Rule 16 --
2 essentially, governs non-standard facility installs, so
3 basically equipment that you would consider not to be your
4 standard utility equipment needed to provide service to a
5 new customer.

6 And then recently there's been specific EV
7 infrastructure rules, Rules 29 and 45, that have been
8 established that essentially have made all of the utility
9 side of the meter facilities now covered by ratepayers, and
10 I'll talk a little bit more about that in a second.

11 So next slide.

12 So this is just for the visual learners in the
13 audience, just to highlight what I'm talking about with
14 Rule 15. So you see with Rule 15, it's a line extension,
15 and so that's the red distribution line.

16 Next slide.

17 And then Rule 16 is the service extension, so
18 from the distribution system to the premise and the service
19 panels.

20 Next slide.

21 So Rule 15 and 16, there is an allowance formula
22 that's part of that rule that gives the project applicant
23 an allowance against the cost. And I won't go into great
24 detail about how that's calculated, but essentially it's
25 first applied to the Rule 16 costs of the service

1 facilities, and then any excess that's available can then
2 be applied to the Rule 15 Tariff. And you can see the
3 current allowances for residential projects here by
4 utility.

5 Next slide.

6 As I mentioned, there's a new EV in fact rule.
7 This is pursuant to AB 841 from a couple of years ago.
8 Rule 29 is the PG&E and Edison rule, and then Rule 45 is
9 the San Diego Gas & Electric rule. Essentially, it serves
10 as an alternative to the IOU's Rule 16 for commercial and
11 industrial customers that does include multifamily
12 residents and for installing separately metered or sub-
13 metered EV charging. And essentially, the ratepayers now
14 cover, with these rules, the ratepayers now cover nearly
15 the full cost of service line extensions and related
16 distribution infrastructure on the utility side of the
17 meter. And just noting that the full cost of this policy
18 is unknown at this time, so that's something that we're
19 monitoring.

20 Next slide.

21 So today, it's sort of fair to say that, you
22 know, we're at a similar place with energization that we
23 were with interconnection some 10, 15 years ago post-CSI
24 when we needed to revise Rule 21. So that really puts the
25 spotlights on, the spotlight on Rule 15 and 16. And in

1 part, it's also due to the fact there's been several recent
2 examples of energization delays. And not to mention that,
3 you know, utilities, and you heard a little bit about this
4 on the previous panel, really gearing up and planning for
5 electrification over the next several years.

6 These rules haven't been revisited in quite some
7 time and there haven't been any major revisions to this
8 rule. I mean, the last sort of major revision was back in
9 2007 when some of the allowances were recalculated. So
10 it's fair to say that there's a spotlight on these rules
11 and that's evident by the fact that there are a few pieces
12 of legislation circulating in legislature now that would
13 provide guidance to the CPUC to institute some changes
14 around energization that would definitely have an impact on
15 Rules 15 and 16.

16 So next slide.

17 So it begs this question: So what can we learn
18 from the Rule 21 interconnection process, the stakeholder
19 process that we had there? What can we learn from that and
20 apply to energization today?

21 And so just put a few examples here from Rule 21,
22 the Rule 21 process that we can think about in the context
23 of energization, you know, including, you know, looking at,
24 leveraging the timeline reporting templates from Rule 21,
25 looking at this interconnection notification-only approach,

1 which basically means if this is the pilot that's going on
2 in interconnection right now, but if a particular project
3 meets a certain set of criteria, it doesn't necessarily
4 have to go through the full-on interconnection process, it
5 could just connect to the grid. And so maybe there could
6 be an analogous process established on the energization
7 side.

8 And I mentioned this earlier, with limited
9 generation profiles and being able to better match the
10 generation profile of a behind-the-meter solar project with
11 the grid capacity on sort of by time, could we do the same
12 thing on the load side, look at customers and when are they
13 actually using energy and compare that to when is their
14 existing capacity on the system on a daily basis, on a
15 seasonal basis?

16 And so I think there's a lot to learn from the
17 Rule 21 process that we can apply to energization.

18 So next slide.

19 And so I'll just finish by -- just wrap up by
20 saying, you know, the CPUC, we're actively thinking through
21 these issues and working hard to identify some strategies
22 and approaches to ensure timely energization of projects in
23 the near term, but also how we can plan and prepare the
24 electricity for new loads from electrification moving
25 forward over the next several years. And looking forward

1 to working with you all on doing that, so thanks. Thank
2 you.

3 MR. WENDER: Thanks so much, Matt. Really liked
4 that analogy and what we can learn from Rule 21 for current
5 energization challenges. Very fascinating.

6 I want to turn next to our colleagues at Southern
7 California Edison. Mark Esguerra, again, will share their
8 generation interconnection and load energization processes,
9 with Brandon Tolentino chiming in.

10 Take it away, Mark.

11 MS. ESGUERRA: Alright. Thank you, Ben.

12 So maybe you go to the next slide here?

13 We've divided this presentation up into two areas
14 here, very similar to what you've seen Matt cover. So we
15 talk about our Load Energization Tariffs here, Rule 15, 16
16 and 29, which will largely be the bulk of our conversation.
17 We also did include our Wholesale Distribution Access
18 Tariff, which follows similar processes, maybe a slightly
19 different study timeline, but the bulk of our
20 interconnections or energizations are going to be around
21 the Rule 15, 16, 29, and we're ready to report and talk
22 about that.

23 Something to point out here is that, you know,
24 from our forecast we're seeing -- we're projecting to see a
25 pretty high load growth that we haven't seen in decades.

1 It's roughly about eight percent during these years of 2023
2 to 2028. And this is, you know, looking at our CEC IEPR
3 Forecast, particularly the local reliability scenario for
4 SCE. So a lot of load that's going to be coming in.

5 And on the right-hand side, after we cover our
6 Energization Tariffs and process, we'll touch on what we're
7 seeing on a distributed generation aspect. There's two
8 tariffs here, Rule 21 and our Wholesale Distribution Access
9 Tariff. As you can see here that, from Rule 21, that it's
10 the majority of where we're seeing our generation. We have
11 almost 7,000 megawatts of generation there. And out of
12 that 7,000, about 99 percent of them are under the Net
13 Energy Metering Tariff, but you can see that the average
14 size is about 8.3 kW.

15 And then on the right-hand side is our Wholesale
16 Distribution Access Tariff. Not nearly as many projects as
17 compared to our Rule 21. You know, where Rule 21 is about
18 600,000, interconnections and our Wholesale Distribution
19 Access Tariff is about a little bit under 160. And the
20 total nameplate is about a little under 800 megawatts. So
21 you can see kind of the larger of the volume of the two.

22 So with that there, we'll go to the next slide
23 and I'll hand it off to Brandon Tolentino to cover our load
24 energization process.

25 MR. TOLENTINO: Thank you. Thank you, Mark, and

1 good morning. My name is Brandon Tolentino and I'm the
2 director of central design and engineering here at SCE. I
3 want to thank the CEC Commissioners and staff for inviting
4 us here to share our load energization process this
5 morning.

6 So if we can get to the next slide?

7 You know, as we progress through this session, I
8 think you'll see quite a few similarities between the IOU
9 processes. And, you know, as we speak, I imagine you'll
10 hear even more similarities.

11 At the highest level, one can simplify the
12 processes down into really a few key steps. One is
13 customer applies for service. The second step is really
14 SCE or the IOU designs the line or service extension. Then
15 we deal with requirements and dependencies. Those are
16 typically things like inspections, easements, permitting.
17 And then finally we schedule and we construct the project
18 to serve the customer. So as you can see from the flow
19 here, the process is clearly a partnership between the
20 customer and SCE.

21 But furthermore, it's critical to understand that
22 in a few of the steps, there's a dependency or a
23 requirement that we must meet, and that's typically things
24 like permitting and easements, so dealing with, you know,
25 cities and counties for inspections, easements from a

1 variety of potential groups, permits from state and local
2 government agencies, just to name a few.

3 Diving a little deeper into the steps, however,
4 SCE has broken it down into five phases.

5 So first is the application phase. This is when
6 the customer will actually contact us and provide the
7 necessary documentation that we need to understand the
8 project and to adequately design the necessary service to
9 the customer. So depending on the familiarity of the
10 customer with our process, this may take a bit of back and
11 forth to get to what we consider a finalized submittal.
12 And at this point, depending on the complexity of the
13 project, we may want to meet with the customer in the field
14 to really better understand their needs.

15 So once we have a completed application, we move
16 into what we call the engineering and design phase where we
17 create -- and this is the physical work order that our
18 construction crews use to actually build the service online
19 extension. And at this point, we're also working closely
20 with our distribution planning engineers to ensure that
21 there's capacity that exists for the new service.

22 In addition, SCE will also complete what we call
23 rights checks during this time. This is really to
24 determine if there's any easement issues that we need to
25 address, if we need to clarify any land rights and areas

1 that we will be needing to install facilities. Again,
2 there might be another field visit at this point to really
3 aid in the best design for the customer and for the local
4 area. In this phase, again, there could be some back and
5 forth with the customer to align on, you know, where do
6 they need service on their property and maybe the general
7 routing of facilities on and near their property.

8 So once the design is completed, contracts are
9 signed, the invoices are paid before the physical work in
10 the field is started. So at this point, the customer will
11 complete the necessary underground ducts and structure work
12 that they're responsible for and ensure that those are
13 inspected by the authority having jurisdiction, as well as
14 SCE. And at this point in the process, we'll also begin
15 obtaining any necessary permits or easements to complete
16 the work.

17 Once this phase is done, we move into scheduling.
18 And this is what I consider the actual mobilization phase
19 where we ensure that we have permits in hand, that we have
20 all the proper material to get the work done, and we
21 determine at what dates we will actually have construction
22 crews out there doing the work to provide the service.

23 So keep in mind, this may mean that other
24 existing customers are affected during this time. They may
25 see an outage so that we can complete the work safely and

1 securely. So there's also a notification process that we
2 might have to go through in some of these instances where
3 we give impacted customers, you know, a head start or a
4 head notice on the fact that they may experience an outage
5 due to us modifying the system in their areas. In some
6 cases, for particularly sensitive customers or critical
7 load customers, think about hospitals and fire stations and
8 things like that, we may need to be more flexible in the
9 scheduling of the outage.

10 Also in this phase, the customer will typically
11 be getting their portion of the service inspected and
12 signed off by the local authority having jurisdiction.

13 And then finally, we move into the construction
14 phase where we actually complete all the work in the field.
15 We set the meter and we energize the new service to the
16 customer.

17 And then we move on to the last portion, which is
18 really the true up and the final accounting of the project
19 where we update all of our internal information systems,
20 update our maps to ensure that they show the new facilities
21 and new service to the customer.

22 You can see some general timelines we provided in
23 some of these steps. You can see we also noted that in two
24 of the phases, the application requirements phase, it can
25 be customer dependent. Just in general, when we looked at

1 some averages, the customer application phase for many of
2 the projects can be one- to two-week range. If it's, you
3 know, a customer that may not understand the process or
4 maybe even a more complex application, it might take a few
5 more weeks beyond that.

6 And then the customer requirements phase, usually
7 that's about a two to four week period, depending on the
8 complexity of the project. But again, you know, if they
9 have some issues with the ducts in structures that they
10 install, there may be some obtaining easements, that all
11 adds to the timeline of getting the work done.

12 So, you know, another, the box there also notes
13 that we also assess the capacity on the system, so that's
14 working with our distribution planning engineers to
15 understand if we do need a capacity upgrade on the system
16 somewhere, that could be a modification of an existing
17 circuit, that could be a new circuit, a new substation, all
18 of those things. We try to run those in parallel, but
19 those can definitely add time to the process if we need to
20 wait for those things to be completed.

21 In the next slide, I'll talk a little bit about
22 some of the challenges and some of the opportunities that
23 SCE is actively pursuing.

24 So on the left side, we really summarize some of
25 the challenges we've seen in the process. Projects can

1 experience a few of these or many of these, and any will
2 really extend the time necessary to process an application
3 all the way through the process.

4 So in the application processing phase, it's
5 really understanding, the customer understanding the
6 information they need to submit and making sure it's clear
7 that they have all the maps, all the requirements set, that
8 it's clear what they actually need and that the application
9 is deemed complete, similar to the generation process.

10 In the engineering phase, you know, we deal a lot
11 with the variability of the projects. The amount of
12 projects that happen at any one moment for us can be a
13 challenge to our resources. The scope of the job, larger
14 projects, of course, take longer. Some of them are
15 challenged with permits, environmental requirements, things
16 like that. System capacity becomes an issue in this phase
17 as well. And then sometimes it's not clear in any of these
18 phases like who is on point at that moment for making sure
19 we're moving along in the process.

20 In the customer requirements phase, you know, any
21 delays on their side, submitting the payment or contracts,
22 can be an issue. You know, I talked about ducts and
23 structures potentially being an issue of if they run into
24 issues when they're actually doing the work. If they're
25 unable to get their inspection completed in time, that can

1 be a problem.

2 On the scheduling side for us, you know, any
3 storm or emergent conditions, a lot of rain, heat storms
4 can cause some scheduling delays. More recently, we've
5 seen a lot of supply chain challenges, not only for SCE,
6 but the customers, as well, in terms of availability of
7 things like wire and main panels, and on the SCE side and
8 the utility side, things like transformers and cable could
9 be challenging.

10 And then finally, you know, just site issues,
11 just general for the customer. And, you know, if we're
12 working offsite to upgrade things, we can see construction
13 delays in that space.

14 Really wanted to end here on the areas of focus
15 for us.

16 We want to look at additional personnel to help
17 with the process, to speed up the process.

18 We're looking at opportunities to expand some
19 existing tools like our DRP external portal that was used a
20 lot for interconnection space, but can we use it for load
21 connections as well?

22 We are actively looking at rolling out an online
23 application process. We're affectionately calling it like
24 the pizza tracker. And that's really to understand where
25 your project is and what phase and who's responsible at

1 that point and what they need to provide to push things
2 forward.

3 In the meantime, we're looking at how we clarify
4 a lot of the information we provide to customers on
5 sce.com. Can we post different and more clear process
6 flows, any other information, can we make it easily
7 accessible?

8 And then in the other spaces more recently, as
9 we've had capacity issues, looking at how we can phase
10 projects in. Customers don't necessarily need all the load
11 upfront, but maybe they can phase in their load through,
12 you know, six to nine months or even a year.

13 We're looking at temporary solutions to bridge
14 issues where we may not have initial capacity but can
15 provide some capacity to the customers.

16 And then I think the critical part, I think Harry
17 mentioned previously, is really thinking about how we can
18 speed up and make our permitting and environmental
19 processes more streamlined.

20 And I'll hand it back to Mark.

21 MS. ESGUERRA: Thank you, Brandon.

22 And I think the next few slides, I know we'll go
23 through it pretty quickly. I know we're being pressed for
24 time here, so maybe next slide here.

25 So what you see on this slide is high-level

1 depiction of our generation interconnection processes. And
2 as you saw in the earlier slide, for Edison, the majority
3 of our interconnections are in our Rule 21 and they are
4 processed through the Fast Track, which typically takes a
5 few days, and in some worst cases, maybe a few months. And
6 as you go further down, the studies get more complex from
7 the independent study, the group study. Those are going to
8 be a little bit more involved. So the focus here is really
9 on the Fast Track.

10 So then maybe we'll go to the next slide here?

11 High-level view of the Fast Track process. Very
12 similar to our energization, there's the upfront
13 application processing where we've received the application
14 from the customer, work through that with the customer, and
15 if we have adequate information, it moves through our
16 initial review. A lot of our projects end up just being
17 processed from the initial review and moving right to the
18 interconnection meeting. They've identified there really
19 isn't many upgrades. It's things that can be handled
20 pretty quickly.

21 If it's more complicated and they find there's
22 some grid constraints, it moves over to the supplemental
23 review for a little bit more involved study. And then
24 after that, it gets moved over to the interconnection
25 agreement. And if there's no upgrades needed, the customer

1 goes right to that five, it gets implemented. If there is
2 an upgrade, there'd be some time to work through the
3 project implementation for the facilities.

4 So maybe one more slide here, and then we'll jump
5 to the conclusions here.

6 So this is just a quick view just to see, over
7 the last several months, of what Edison's been seeing from,
8 particularly, with the NEM 2.0. You'll see a couple of
9 bars here. There's a blue, orange, and gray bar. Blue is
10 2021 volumes, the orange is last year, and then the gray is
11 this year. As you can see, there's a huge uptick, just a
12 tremendous amount of applications that have come in that
13 the team is working towards over the first part of the year
14 as the NEM 2.0 was sunsetting. And on the right-hand side,
15 you'll see what's the average applications per month.

16 But, roughly, what's really important here is the
17 cycle time. As you can see, we've been doing a pretty
18 decent job for the last few years, keeping it under six
19 business days. That's an average. Some are better than
20 that. Some are worse. But as you can see in 2023, the
21 first part of the year, those business days actually jumped
22 up to over ten in some ways. So just wanted to give you
23 that quick view on that.

24 And then the last slide here, just maybe the
25 focus on areas of focus or the opportunities here. Things

1 that we're looking at here is, how do we get early
2 engagement with the customer? Working with developers
3 that, you know, have some expertise to help guide the
4 customers through the interconnection process, and things
5 that utilities are looking for is continue to enhance our
6 interconnection tools to be able to streamline and automate
7 as much of our processes. And then, you know, how
8 interconnection processes are, you know, making sure that
9 customers come in, really limit the number of changes
10 because every time there's a change, it kind of takes us
11 back. And then, you know, for those that require upgrades,
12 how do you streamline the permitting and licensing process
13 if there's infrastructure that's involved?

14 Went through that pretty quickly because I know
15 that we're making up for time here. So with that, Ben,
16 I'll hand it off to you. I do see a hand up from Diego.

17 MR. WENDER: Really appreciate it, Mark.

18 Next we'll turn to PG&E, Matt Ventura, Senior
19 Director of Service Planning and Design, and Nadim Virani,
20 Senior Manager for EGI.

21 Take it away.

22 MR. VENTURA: Here we go, yeah. Thank you all,
23 and thank you, Commissioners, for having me. Again, Matt
24 Ventura, Senior Director of Service Planning and Design at
25 PG&E. So what I'm going to take you through here is our

1 new business services, so this would be the energization
2 side of the coin here that we've been discussing today.

3 And so next slide, please.

4 So what I wanted to do is provide a kind of
5 context of the size and scale of what we're talking about
6 here. These are going to be in the Rule 15 and Rule 16
7 requests. So in a typical year for PG&E, we receive about
8 125,000 customer applications per year.

9 We structure ourselves into two tranches. So 43
10 percent of the applications go what we call our Express
11 Connect or simple route. Cycle times here are under 30
12 days. They're real quick. They're generally focused on
13 the work types that you can see there on the slide.

14 On the other 54 percent of the requests that we
15 receive, we call them traditional or complex work types.
16 These are ones that require specific project designs and
17 generally take much longer with our timelines currently
18 averaging 330 days. Let me say that this will be the area
19 and space that has generated the most attention recently,
20 though it is down by over about 70 days over the last
21 couple of years as we've been putting a, you know, more
22 intense focus in this space.

23 So next slide.

24 So the process for us is nearly identical to what
25 you just heard. And so I won't go super deep here, but I

1 want to cover that this is for the complex work. This is
2 for the process that takes, right now for PG&E, 330 days to
3 complete. It's also the area where we see the biggest
4 opportunity and the need for improvement within the
5 timelines to serve our customers. As you can see in the
6 top right corner, there are efforts already underway within
7 PG&E to make those improvements, and we do expect our
8 timelines to reduce by almost half.

9 So to go through the process steps, I just want
10 to call out a few key items here. On intake, our first
11 step, timelines here are mostly driven by the customer.
12 You see zero to three months. We can go as fast as the
13 customer can go really here. Key challenges are really
14 generally about receiving a complete application from the
15 applicant that contains sufficient information for us to
16 perform our work. And that's nearly identical to what you
17 just heard from San Diego.

18 Design and pricing, so the timelines here are
19 mostly driven by the size of the PG&E queue. And so the
20 challenges, as we've been highlighting today, can come from
21 the capacity planning step. And so this is where the
22 distribution planning process can significantly impact
23 timelines that customers experience if there's not
24 sufficient capacity to serve the customer's load request.
25 But by and large, here are timelines when there is capacity

1 to serve, again, is queue-related and as part of where our
2 improvements are focused this year.

3 In the dependencies space, timelines here are
4 joint between customer and utility. It's a lot of shared
5 responsibilities, very similar to what you also heard from
6 the prior utility where there's permitting and land rights
7 requirements. Those are going to be where our two main
8 challenges come from within this space as far as timelines
9 that are longer than anyone would like them, utility or
10 applicant.

11 In the construction space, timelines here are
12 also jointly driven by the customer and the utility. The
13 customer does have to actually be ready and complete all of
14 the work on their project site before we can energize them,
15 of course.

16 But then let me acknowledge that really the
17 challenges that we've been recently facing and that have
18 driven a lot of the interest in Rule 15, Rule 16 have come
19 from this phase for us. Most recently, quarter one of this
20 year, we've had a historic series of storms and weather
21 events that have really just taken these timelines to
22 extreme levels.

23 So let me go to the next slide.

24 So what we're doing to improve, so what I wanted
25 to show here was a representation of what the company,

1 PG&E, is doing. So we're in the midst of an enterprise
2 implementation and adoption of the lean operating model.
3 This model is built upon five basic plays and strategies,
4 play one being visual management, play two being daily
5 operating reviews, play three being problem solving, play
6 four being standard work, play five being waste
7 elimination.

8 So what's shown on the slide here is a
9 representation of how these plays manifest. And as a
10 picture of one of our walls in a dedicated wing of our
11 Oakland headquarters, this is where we're focusing the
12 efforts of the company to improve. And I wanted to thank
13 Vice Chair Gunda for participating in a deep review of this
14 content, you know, in another meeting.

15 But so what you're seeing here on the slide, just
16 by making work visible, that's play one, one of our high
17 level takeaways that we're able to highlight within the
18 process here, as you see it there in the top right,
19 fallout. And so what that's indicating is that 63 percent
20 of the applications that are submitted end up not ever
21 resulting in a completed project or an energized or
22 pressurized, you know, customer's location.

23 So this is entirely applicant driven where the
24 customer goes dark on us or they cancel their request
25 somewhere between applying and when we energize or

1 pressurize them. So you can -- it should be obvious;
2 right? So that's quite a bit of waste in our process and
3 time spent doing things that aren't actually benefiting the
4 grid or the customers.

5 Now what you can also see in the slide here is
6 the visual evidence of problem solving or play three. It's
7 highlighted as the pain points throughout the process with
8 the little star stickies, so you can see both the yellow
9 and pink. Each one of those yellow stars indicates that
10 we've got an effort underway to address and resolve that
11 particular pain point. And these are all really internal
12 focusing and process optimization.

13 Next slide, please.

14 So what I wanted to end with here was just to
15 say, so the focus of this conversation has been pretty
16 healthy on transportation electrification. And I wanted to
17 highlight our ongoing partnerships with these major players
18 within the charging space. We work closely with these
19 companies to integrate their work plans into our work
20 plans. And we partner to resolve issues and pain points as
21 they manifest as we've got some upcoming collaboration
22 sessions with all of these folks.

23 What's not shown here, but I do want to also
24 mention, is that we have an ongoing partnership with the
25 California Building Industry Association, or CBIA. And

1 their focus primarily is on new housing, so that's also
2 included in the content that I've just shared with you,
3 transportation electrification and housing, both very
4 important goals for the state and what we're trying to
5 partner with customer groups to achieve the state's goals.

6 And so from there, I will go to the next slide
7 and yield the rest of my time to Nadim.

8 Next slide.

9 MR. VIRANI: Hello, everyone. My name is Nadim
10 Varani. I'm the Senior Manager of Electric Grid
11 Interconnection here at PG&E.

12 And if we can go to the next slide, please?

13 So this is a general overview of what my team
14 works on here. So we've got Rule 21, as well as the CAISO
15 and Wholesale Distribution Tariffs, so we handle everything
16 from your rooftop solar all the way up to your large
17 transmission scale facilities.

18 Next slide, please.

19 So to kind of give a similar process overview
20 that you all already kind of heard, we go from an applicant
21 submitting their application materials. We'll take a first
22 look at it, kind of bounce things back with the applicant
23 to make sure that their documents are complete.

24 Once they're deemed complete, they move into the
25 engineering reviews. Out of the engineering reviews, we'll

1 get like a scope of work, if any, that will be memorialized
2 in an interconnection agreement, which then goes over to be
3 designed and implemented, as Matt was just talking about.

4 Once all the work is completed, we move into
5 inspection and bringing the generator online, and then
6 moving into a Permission to Operate letter, which kind of
7 signifies the end of the process there.

8 So on this screen, you have kind of different
9 timelines for the different steps. These are from Rule 21,
10 and so they don't necessarily reflect the cycle times of
11 each individual step, so something like rooftop solar
12 typically goes much faster, and then the larger facilities
13 like wholesale distribution can take a little bit longer.

14 Next slide, please.

15 One thing we wanted to highlight, similar to the
16 SCE presentation, was the volumes. So here you can see,
17 going back two years to 2021 all the way through 2023, our
18 monthly volumes by program. As you can see, there's many
19 little colors on the side. But the main moral of that
20 story there is in 2023, the volumes that we saw were very
21 large.

22 If we can go to the next slide, please?

23 Something we wanted to highlight is with these
24 large volumes, our cycle times have suffered. So you can
25 kind of see the charts here on the right within the red box

1 starting to trend upwards as 2023 kind of progressed. And
2 some of the challenges there are related to changes in
3 tariffs, like in this case, the sunset of the Net Energy
4 Metering 2.0 Tariff causing a rush of applications.

5 Other challenges to cycle time can also include
6 technology changes from like an equipment perspective. So
7 kind of seeing the movement from rooftop solar to now
8 rooftop solar paired with storage devices that we have to
9 adapt to and simplify once we understand it.

10 And then other challenges we face, similar to
11 what you see on the screen in front of you is when new
12 programs are introduced or programs change, we also have to
13 update all of our technology and automation systems to
14 accommodate that. So a lot of that can take a lot of
15 thinking and designing and change management both
16 internally and externally so everyone's on the same page
17 about what we're looking for in applications, how to fill
18 things out and how to get that all completed.

19 Next slide, please.

20 So with that, I conclude. And there is an
21 appendix of slides with larger charts for those who are
22 interested.

23 MR. WENDER: Really appreciate it, Nadim and
24 Matt. Great work.

25 Next we'll turn to SDG&E, Erica Schimmel-Guiles,

1 Director of Design and Project Management, and Sherise
2 Blackwood, Customer Generation Manager.

3 Take it away, Erica. Thank you.

4 MS. SCHIMMEL-GUILES: Good afternoon. Thank you.
5 I'm Erica Schimmel-Guiles, Director of Design and Project
6 Management for SDG&E. Thank you to the CEC and CPUC for
7 inviting us to be part of the panel today. I'll be
8 covering all of the slides. And then Sharice is here to
9 support any questions during the Q&A.

10 Very similar to my colleagues at Edison and PG&E,
11 I'll be sharing three timelines with you today, Rule 21,
12 service orders, and work orders, in addition to actions
13 that are already underway to improve our energization
14 timelines and additional recommendations for improvement.

15 Next slide, please.

16 Rule 21 governs the interconnection, operating,
17 and metering requirements for generation facilities to be
18 connected to SDG&E's distribution system. Our Distribution
19 Interconnection Information System, known as DIIS, was
20 launched in 2013 and is currently recognized as a leading
21 platform to process all of our electric Rule 21
22 applications. We proactively continue to make improvements
23 to our systems and processes by working with our customers
24 and contractors to enhance their user experience while
25 still meeting our regulatory requirements and obligations.

1 The automated web application process consists of
2 six easy steps, as you see earmarked on this slide, which
3 identifies the responsibilities between the customer, the
4 authority having jurisdiction, so generally the city or the
5 county, and the utility. Ninety-nine percent of the
6 interconnection applications we get follow this six-step
7 process, which really helps eliminate administrative errors
8 and improves our speed to interconnection.

9 We're very proud of our streamlined process.
10 It's allowed us to achieve and maintain an average three-
11 day approval timeline for residential applications, which
12 is seen as best in class.

13 Next slide, please.

14 Similar to what you've seen from my colleagues
15 that went before me, we've seen a huge uptick in
16 applications, especially in the beginning part of this
17 year, as a result of the Net Billing Tariff deadline of
18 April 14th, so nearly two years worth of volume came in the
19 first 100 days of 2023. And we are currently experiencing
20 longer than three-day processing timelines because of this,
21 but that is only temporary, and we will be back to our
22 normal timelines, staying in compliance with all of the
23 Rule 21 timeline requirements.

24 So with that, I'm going to move to service
25 orders. Next slide, please.

1 So our service connection process for small jobs
2 are what we call service orders, generally exclusive to
3 Rule 16, things like providing temp power, a request for
4 panel upgrade to support a solar install, a disconnect,
5 reconnect, a service extension due to a remodel fall into
6 this general bucket.

7 And the process begins with a customer submitting
8 an application to us through our online builder services
9 portal. The project is fielded. We ensure we have all
10 proper documentation to establish what we call an applicant
11 final submittal date, and then the service order is
12 written.

13 You know, as you've heard, easements, permits,
14 fees, all of these things are necessary and confirmed prior
15 to the job moving to what we call our pre-construction
16 stage. This is when the customer is responsible for
17 performing their work, civil work, trench, conduit, any
18 substructures, and receiving all necessary inspections.

19 So once all of those prerequisites are complete,
20 the job then moves into construction where SDG&E completes
21 the work, energizes the project, sets the meter.

22 The timeline for these projects is generally
23 between three and five months, as you can see depicted on
24 the slide. From a volume perspective, we're processing
25 between 13,000 and 15,000 service orders annually.

1 And some typical challenges that we experience,
2 again, similar to our neighbors to the north, incomplete
3 customer applications, timely information from customers
4 can be a challenge which delays the process, customers
5 incorrectly installing panels or doing the trenching work
6 incorrectly, which is not in line with the service order,
7 and truly just the volume and some recent attrition of
8 trained staff that we've experienced has created challenges
9 in our timelines that we are looking to address, and I'll
10 go into on a future slide.

11 Next slide, please.

12 So this slide is covering off on all of the other
13 jobs, right, so think large residential development, high-
14 rise downtown, airport expansion, commercial EV charging
15 requests. And the process follows a similar flow but
16 requires a lot more interdepartmental involvement because
17 these jobs are much more complex.

18 So customers, again, submit their project through
19 our builder services portal. There's generally a lot of
20 back and forth upfront with the customer to ensure we have
21 correct loads, plans, and all the documentation necessary
22 to establish that final submittal date.

23 We then book the job to design where the
24 engineering work is performed. So load studies, pull
25 calcs, fielding, AutoCAD work, QAQC is done on the design,

1 easements are reviewed. The customer always has the
2 ability to review the preliminary design and sign off on it
3 before we finalize. And finalizing the design really
4 consists of compiling environmental releases, easements,
5 permits, pre-digitizing the work; right? All of those
6 activities before the job moves into pre-construction.

7 So I will note that this slide calls out the
8 regulatory review specifically, just to notate that some
9 projects do require 851 or other CPUC filings, which can
10 take somewhere between 6 and 18 weeks. But we do that
11 process in parallel with the final design.

12 So again, once all the prerequisites are
13 completed, we have permits in hand, the job will advance to
14 preconstruction where the customer is again responsible for
15 performing all of their work as indicated by the tariff.

16 Once all the final inspections are complete and
17 the city or the county has released the job, the job will
18 move into construction, at which time outages are scheduled
19 if necessary, material is allocated, and the work is
20 executed by SDG&E contractors or crews.

21 General timeline for this work, somewhere in the
22 eight- to ten-month range, you're seeing on the slide here,
23 with a majority of that timeframe really being in that
24 engineering and design phase.

25 From a volume perspective on these larger more

1 complex jobs, we're doing between 4,000 to 5,000 projects
2 annually. Keeping in mind each job has several potential
3 components, right, maybe there's removing of an overhead
4 line, providing temp power, installing new underground
5 infrastructure, so one job may actually be eight or so mini
6 jobs combined.

7 When we think about challenges with timely
8 energization for these types of large projects, things like
9 incomplete customer applications, customer-requested design
10 changes after design has already commenced, permitting
11 challenges with our local authorities having jurisdiction,
12 land rights easements, I think one of my colleagues already
13 mentioned that, supply chain constraints, especially in
14 transformers right now is a challenge, and all of those
15 things lengthen the time required to energize our
16 customers.

17 Next slide, please.

18 So we're actively focused on ways to reduce our
19 lead times, improve our customer experience. There's a
20 couple areas that I will touch on.

21 So the first is technology. We continue to
22 enhance our builder services portal based on direct
23 feedback from our builders and customers. And we believe
24 providing more information to the customers upfront really
25 enable a more comprehensive job package submittal which

1 reduces the back and forth with our customers. We continue
2 to move functions like paying online or paying rather, to,
3 online, e-payments, signing of contracts, to online, and
4 soon the ability to schedule inspections, as well as
5 arrange for pre-construction meetings all handled online.

6 Additionally, we're rolling out a new software
7 called Automated Utility Design, which is an application
8 that rides on top of AutoCAD which is used extensively by
9 our design teams. And AUD will integrate key systems,
10 speed up our design processes and reduce errors and
11 omissions. So we're continually looking to leverage
12 technology to reduce our timeframes.

13 The second process or the second area I'll talk
14 about is process refinement and improvement. We're
15 continuing to look for ways to reduce handoffs, segment and
16 align our criteria internally to help support cleaner
17 customer interaction and processes. So an example might be
18 one project manager assigned to all of a certain builder's
19 projects to enable cleaner and more concise communication
20 with that customer.

21 We're also looking for opportunities to
22 programmatically outsource certain scopes of work. So an
23 example being all removed from service, or RFS, jobs which
24 helps us speed up getting the utility infrastructure out of
25 the way faster so developers can secure their grading

1 permits and begin their work. So on average, we have about
2 5,000 RFS jobs per year. So if we're able to get that
3 outsourced then our internal staff can focus on higher,
4 more complexity work.

5 You know, we do believe there's an opportunity
6 for improvement with our local agency permitting processes.
7 I'll give you a couple of examples.

8 Ministerial permits, in our mind, should be
9 simple. So the opportunity for there to be a black and
10 white checklist where the checklist is fulfilled, the
11 permit gets automatically approved, could greatly benefit
12 our lead times.

13 Another thought is around the establishment of
14 blanket permits with our AHJs. So SDG&E today, I believe,
15 has about 13 blanket permits that we use, sometimes
16 referred to as an annual permit or a durable permit, or
17 even maybe an MOU, with various cities and agencies. And
18 these permits allow SDG&E to self-issue permits, so
19 sometimes there's minimal notification to the cities, and
20 this is really for simple, repetitive, minor work. So if
21 we're able to establish those with all the AHJs, that's
22 another opportunity to reduce the lead time and increase
23 the throughput.

24 Looks like my time is coming to an end. So I
25 will just close with the customer engagement piece. And we

1 have been very intentional about engaging with the local
2 BIA, or Building Industry Association. We hold a bimonthly
3 working group meeting, which allows for really candid and
4 transparent conversations around a variety of topics,
5 whether it's legislation, supply chain challenges, process
6 improvement, technology enablement, and that has yielded
7 significant value and benefits.

8 Our executives also are holding quarterly
9 meetings with large developers and repeat customers to, you
10 know, air out issues of concern and strategize on partner
11 opportunities and build trust. So we've been very
12 purposeful about engaging with our developers and builders
13 and establishing those open lines of communication. And we
14 think it's been very intentional about engaging with our
15 developers and builders in communication and we think it's
16 been very beneficial.

17 So with that, I will thank you for your time
18 today and conclude my remarks.

19 MR. WENDER: Thanks, Erica. Wonderful to hear
20 that.

21 Last, we'll hear from Frank Harris. He's
22 regulatory manager of energy with the California Municipal
23 Utilities Association.

24 And, Frank, anytime you'll help us make up will
25 make me feel great and better about overscheduling. Take

1 it away, Frank.

2 MR. HARRIS: Yeah, that's great, Ben. Thanks.
3 And I can go fairly quickly here because much of this
4 process has already been raised and discussed.

5 And I think the key takeaway that I would like to
6 leave everybody with is that I'm going to be -- I'm talking
7 about a very, sort of the high-level process for the 40-
8 plus community-owned utilities that I represent, but they
9 generally follow a very similar process to what Brandon
10 outlined for Edison and what PG&E outlined, and that is
11 I've broken this into a three-phase process.

12 The first phase is the application process. This
13 is where many of my members will have a preliminary meeting
14 with the client and talk through the application process,
15 what needs to be done. As was mentioned earlier, this can
16 often involve an early site visit to help better understand
17 and better counsel the customer. And then the customer
18 submits that application. That application includes site
19 plan, load calculations, panel size, things of this nature.

20 Once that process is complete, we move on to the
21 design phase. And this is where the utility designer or
22 the engineer will be assigned to the project, start and put
23 together a basic design package. And that process
24 typically takes about 60 to 90 days, but certain things can
25 slow it down or speed it up a little bit. For things that

1 are fairly straightforward, it can usually be done more
2 quickly. For more involved design changes or design
3 responsibilities, that can take a little bit longer.

4 And then you would have this joint construction
5 meeting. And once again, you're seeing the theme here, and
6 that is that engagement. We've heard others talk about
7 this. One of the key things that can make this all move
8 faster is that routine, regular engagement between the
9 utility and the client. And so our members tend to do
10 these types of preliminary meetings and back and forth
11 discussions to make sure that there's clear understanding
12 of what is needed.

13 There's a review of the contracts and that
14 process. And then at this stage, the final contract is
15 signed. The customer submits their final payment and a lot
16 of that administrative work is done.

17 And then we move on to inspection. We inspect.
18 This is where the customer does their construction work,
19 their trench work, any kind of pads or panel construction
20 facilities that need to be built on the customer's end.

21 Once the utility inspects that, then the utility
22 starts its construction process. And that involves, much
23 similar to what we were talking about earlier, not just the
24 construction but the permitting, making sure that the
25 rights of way are all properly covered. And depending on

1 the equipment and the crew availability, this work in the
2 facility takes 60 to 90 days.

3 `But everything that I've talked about rather
4 briefly here presumes actually no bulk grid, no
5 distribution grid upgrades are needed. And so this high-
6 end, this overarching process, as I said, very similar
7 across my members, similar to what we've already heard. I
8 think it's important to understand where things can slow
9 down.

10 We've already heard some discussions about supply
11 chain issues. My members are having a terrible time
12 getting transformers. And it's very typical that,
13 particularly in a utility -- I'm sorry, at an industrial
14 level, new service will require one or more transformers.

15 Depending on the magnitude of the additional
16 load, we could see other distribution system upgrades that
17 are needed, perhaps depending on the location, perhaps even
18 some sort of a transmission study might be involved. I
19 don't have something in the field my members are dealing
20 with right now. And so where can we, how can this be sped
21 up?

22 Others have mentioned this, I mentioned it just
23 now, that open and continuing bilateral communication
24 between the utility and the customer is key. What we find
25 is that if we have a very clear plan from the customer,

1 including their load calculations, their site construction
2 is all very clear and straightforward, these things move a
3 lot faster.

4 When we talk about electrification, fleet
5 electrification versus light-duty electrification are
6 showing up to be two completely different things. And many
7 of our members are getting calls to do fleet
8 electrification upgrades, but customers aren't quite sure
9 what these trucks will need yet. And so they aren't able
10 to come to us with sufficiently specific load calculations
11 or timelines when the vehicles will be available and
12 purchased. And so that type of uncertainty slows down this
13 process.

14 We've already mentioned supply chain.

15 And then, of course, staffing and other equipment
16 needs. I can't remember, I think it was Brandon at Edison,
17 but maybe it was Mark at Edison who mentioned that supply
18 chain hits both sides of this. The customers have trouble
19 with certain equipment that they need, wiring and other
20 equipment. We have a challenge getting some cabling and
21 getting transformers, other equipment. And then, the
22 staffing needs are always a challenge.

23 But nonetheless, if I were to leave you with that
24 one thought, this process is fairly consistent across
25 utilities. I think sometimes customers are concerned that

1 it's sort of a Wild West out there, but the general
2 processes follow very similar patterns as what we see with
3 the IOUs and what we've talked about today. And so just
4 earlier notification, more communication between the client
5 and the utility can help speed this up.

6 I'm going to give you back, hopefully I didn't
7 take too much time there, Ben, but I'm going to give it
8 right back to you, buddy.

9 MR. WENDER: Thanks so much, Frank. I owe you
10 for making up a little bit of time.

11 I'm going to invite our esteemed Commissioners to
12 climb onto the dais and take us off with questions until
13 about maybe 1:10, 1:12, if we're lucky.

14 VICE CHAIR GUNDA: Thank you, Ben.

15 Commissioner Monahan, I'll just jump in here.

16 So first of all, I just want to say, Matt, thank
17 you for bringing the visual of the whiteboard and the
18 tracking. That was a really wonderful time well spent with
19 you and understanding all the processes.

20 So I have a multitude of questions here, but I'll
21 kind of keep it to something that was analogous to what
22 we've seen on the transmission side with the cluster
23 process; right? We've seen this humongous amount of
24 applications for new generation interconnections. And it
25 was very evident on the Rule 21 interconnections on the NEM

1 side and storage side. So a couple of questions on that.

2 One, how many projects, for example, in those
3 interconnection requests you have actually go from start to
4 end? Do projects drop off or is it like pretty much like
5 90 percent or higher or 70 percent or higher? That's the
6 first one.

7 And then the second, moving forward, you know, I
8 think there has been some information that was shared, you
9 know, in workshops and such about, you know, there was a
10 surge in applications with the NEM given the kind of the
11 tariff change to NEM 3 and, you know, a lot of desire to
12 stay in NEM 2. Could you kind of just lay out how you see
13 the process in the past, how much went from start to end,
14 what portion fell off? And then moving forward, the
15 extraordinary amount of applications that you have to deal
16 with, do you think that those actually manifest into
17 projects in the near term or over a period of time here?

18 MS. ESQUERRA: Vice Chair Gunda, this is Mark
19 from SCE. I could speak a little bit on the Rule 21 aspect
20 of it.

21 So the majority of like the large volume that
22 we're seeing, largely most of those systems, the customers
23 have already been in -- has an arrangement with their
24 installer. They've largely kind of partially installed or
25 almost installed. So we see, basically, a high volume of

1 those actually turning to those are actually real projects.

2 So I think where there's probably going to be
3 some areas where maybe the projects could drop out would be
4 on our wholesale side and maybe some of our larger
5 interconnections, but a good portion of what we're seeing
6 on the generation side, the rooftop solar, those are actual
7 projects and they move forward.

8 MR. VIRANI: If I may add? This is Nadim from
9 PG&E.

10 Traditionally, the NEM systems almost always make
11 it from start to finish. As Mark said, wholesale has much
12 higher dropout rate, like more than half, bordering up
13 worse than maybe 80, 90 percent dropout. Right around the
14 time they find out the costs of the interconnection, they
15 do their business case.

16 With the latest kind of surge of applications on
17 the NEM side, we suspect that most will go forward, but we
18 do expect a higher than normal dropout rate. Anecdotally,
19 I don't have firm numbers yet, but it looks like almost a
20 third or half of them are very speculative without a lot of
21 application materials having been submitted. So we're kind
22 of evaluating, you know, how that's going to impact our
23 cycle times as we go back and forth with customers to try
24 to figure things out.

25 And as folks are probably aware, they do have

1 three years to build that system. So we suspect a lot of
2 these applications are kind of brought forward from like
3 the rest of '23, maybe early '24, just to make that NEM 2
4 sunset.

5 VICE CHAIR GUNDA: And because I'm just kind of
6 thinking through, you know, it has direct implications to
7 the forecasting where we use some of the application data
8 into kind of thinking through the demand, so great.

9 And just if I may, Commissioner Monahan, just one
10 quick question on the resources?

11 I think we've talked about resources. So kind of
12 a lot, and broad question here: Is the issue finding the
13 people with the skillset or is it just that the resources
14 at the utilities and are not being spent to resource up, or
15 is it a combination? If you could just kind of explain
16 that?

17 MR. VENTURA: Alright, I'll take the first crack
18 at that. Thanks, Vice Chair Gunda. So Matt, PG&E.

19 Resources, so I'm talking around Rule 15, Rule 16
20 requests, so if that's what you were asking about, so we
21 have, let's say, our design resources, which we are trying
22 to staff up and we have been for some time. Those are a
23 more skilled workforce that takes time to gain the
24 necessary experience to be able to do it well and to do it
25 quickly. So we're in a phase of staffing in that space.

1 In the construction space, we don't think that
2 there's, let's say, a mass resource issue there. There's
3 plenty of contract support versus PG&E internal labor
4 support within the construction industry. And so not
5 really seeing challenges there as far as a barrier to
6 executing the work.

7 MS. SCHIMMEL-GUILES: I'll just echo Matt's
8 comments. At San Diego, we're seeing the same, generally
9 fairly flush with, I think, the construction resources
10 necessary to get the work done.

11 The design and planning resources generally take
12 two to three years to get fully capable in the work because
13 of the complexity of the processes, the tariffs, the
14 interpretation, the application, just the variety of
15 experiences and situations that the planners and designers
16 are going to come across in the field.

17 So it's really a matter of finding talent, you
18 know, retaining them, training them, up-skilling them, and
19 getting them fully-fledged, ready to execute work quickly.
20 And that's been a challenge over the last few years.

21 VICE CHAIR GUNDA: Thank you so much. There's
22 just so much information here. Thank you so much, all.
23 That was wonderful.

24 COMMISSIONER MONAHAN: So I'm wondering, I also,
25 Matt, got a chance based on Vice Chair Gunda's

1 recommendation, actually, Ben Wender and I went and saw the
2 whole flowchart and was really impressed that this was a
3 really like inspirational project to kind of air, I don't
4 want to say air your dirty laundry but, you know, really be
5 very transparent about, well, this is a holdup, this is
6 when it's our fault, this is when it's the customer's
7 fault.

8 And one of the things I found is everybody finger
9 points. It's like if I talk to a charging company, they
10 say, it's the utility. If I talk to the utility, they say,
11 it's the charging company or it's a local permit.

12 And I'm wondering, and maybe this stuff feels kin
13 of the portal that you talked about, but is there any
14 suggestions for how we can make things more transparent so
15 you can actually say, here's the data, kind of like PG&E
16 and is doing but on a more like public way? Because
17 otherwise, everybody's just always blaming each other a
18 because we don't know.

19 MS. SCHIMMEL-GUILES: I can take the first shot
20 at that, Commissioner.

21 I think part of the challenge and one of the
22 conversations we're starting to have at San Diego is how do
23 we get really far out in front of our customers instead of
24 waiting for them to come to us? Because at this point,
25 based on the volume and the timelines that it's taking us

1 to get the work done, we're already behind their
2 expectations when they come asking for the work; right?

3 We need to get better at forecasting and taking
4 data relative to where we've seen the load growth happen.
5 What do we anticipate our customers doing? What are the
6 Teslas, the Electrify Americas, the big EV installers doing
7 two, three, five years out; right? And aggregating that
8 information and taking it into our planning functions so
9 that we can get out ahead of the work, especially with the
10 capacity and the potential backbone needs that are going to
11 be necessary to facilitate the state's goals of
12 decarbonization, electrification, transportation.

13 There's also got to be a conversation around like
14 what is that mechanism to allow us to go proactively do
15 this installation and infrastructure upgrades in advance of
16 those customers actually coming to us? I think the GRC is
17 a little too rigid and doesn't really allow for us to be
18 really responsive and also proactive in nature. And so,
19 you know, conversations around what does that funding
20 mechanism look like? How do we set up a structure to help
21 our customers be successful where we're leading them
22 because we're already out in front?

23 MR. VENTURA: I'd add that, as I listened to the
24 presentations from all of the utilities here, so I think
25 that the way we bucketize and categorize our work is we all

1 follow a very similar process, but the amount of scope that
2 is included within each customer project, it definitely
3 differs. And so whether it's only a Rule 16 project or
4 it's a combined Rule 15, Rule 16, or it includes some
5 portion of a backbone or a capacity, you know, betterment
6 piece of work.

7 And so where are the delays that you're hearing,
8 Commissioner Monahan, I think it differs depending on what
9 the types of projects are. So I would suggest that it's
10 important to get the scoping clear so we're talking apples
11 and apples because it's -- let's just say if you're talking
12 with a charging vendor, they're going to generally, let's
13 say like if they're dealing with PG&E, they're going to
14 have concerns and issues with the capacity and the
15 distribution planning process. That's where a lot of their
16 concerns come from and it is really to the utilities
17 responsibility there; correct?

18 But if you're talking, let's say someone that's
19 doing just a Rule 16 project, well, then I would imagine my
20 colleagues here would suggest that the customer having the
21 right application information, being responsive and working
22 and communicating with us, as Frank was suggesting, like
23 that's where that becomes an issue and it's more on the
24 customer side of the fence there.

25 So it really sort of depends on what is actually

1 trying to be accomplished and that's where you can get a
2 good sense of what's going on for delays.

3 COMMISSIONER MONAHAN: Well, we have to cut it
4 off, we had a hard stop at 1:00, but this has been a great
5 panel and I wish we had another half hour because I have
6 more questions, but thank you so much.

7 And I don't know if, Ben or Heather -- oh, do you
8 want to be one -- okay. Thanks Heather.

9 MS. RAITT: Hi. Yeah, so I just want to say
10 thank you to everybody and that we're going to close this
11 out, but we'll be back at 1:45. So I just request
12 everybody log back in just the way you logged in for this
13 morning. Apologies for any inconvenience with that but
14 hope to have everybody back here at 1:45. Thanks.

15 (Off the record at 1:10 p.m.)

16 (On the record at 1:47 p.m.)

17 MS. RAITT: Great. Thank you for coming back.
18 Welcome back to the workshop on the Clean Energy
19 Interconnection with the Distribution Grid. I'm Heather
20 Raitt, the Director for the Integrated Energy Policy
21 Report, or the IEPR.

22 Just a reminder that this workshop is being
23 recorded, and we'll link a recording and a transcript to
24 the Energy Commission's website.

25 And also just a reminder that, because we do have

1 such a full agenda today, we don't have time to be taking
2 questions from attendees, but we do welcome comments during
3 the public comment period during the end of the day, toward
4 the end of the day. And again, we won't take questions
5 during that public comment period, but we welcome your
6 comments. And if you'd like to comment, go ahead and press
7 the raise hand function on Zoom.

8 And then we also welcome written comments and
9 those are due on May 23rd. And the notice gives you all
10 the instructions for doing that.

11 So with that, I'll turn it over to Commissioner
12 Patty Monahan.

13 Thank you.

14 COMMISSIONER MONAHAN: Thanks, Heather.

15 I'm going to be really brief because we ran over
16 in the last section. I think that's why some of our CPUC
17 colleagues are not on. Oh, and they're showing up. I see
18 Commissioner Reynolds, and President Reynolds was here
19 earlier, as was Commissioner Houck. So I'm expecting for,
20 potentially, Commissioner Shiroma to come in the afternoon.

21 And I want to make sure we have time for the
22 panels and for discussion where, I think, the heart of the
23 matter is. We're very excited for the afternoon session of
24 this workshop, really focused on speeding the
25 interconnection and deployment of clean energy resources on

1 the grid. And we're looking at the small wires part, the
2 distribution side, and really looking for ideas for how we
3 can speed up the connecting of buildings and transportation
4 and solar integration into the grid so that we can help
5 meet our state goals.

6 So I'm going to just pass that quickly to Vice
7 Chair Gunda to see if he has any remarks. And he's shaking
8 his head no.

9 Commissioner McAllister, Commissioner Reynolds,
10 anybody want to -- okay, let's dive in.

11 I'm going to pass it back to Ben Wender, my
12 advisor, who's been our leader through this process.

13 MR. WENDER: Thanks so much, Patty, and great to
14 see everybody.

15 This morning, we heard a lot about existing
16 processes, planning processes, processes, connection
17 processes from the state agency and utility perspective.

18 Now we want to turn and learn a little bit about
19 the experience from the developer side. I want to
20 introduce Cliff Rechtschaffen, former Commissioner of the
21 California Public Utilities Commission, who is gracious
22 enough to moderate this afternoon's panel.

23 Cliff, take it away.

24 MR. RECHTSCHAFFEN: Thank you very much, Ben.
25 Thank you for having me. It's always a pleasure to be at

1 an IEPR workshop. I couldn't think of anything else I'd
2 rather be doing.

3 I was asked to spend a few minutes setting the
4 stage for this panel. I think it's been very well set by
5 all the panelists in discussion this morning, starting with
6 Chris Walker of GRID Alternatives talking about, and
7 others, about the historic opportunity we have right now.
8 We have alignment on policy on very ambitious clean energy
9 goals for transportation electrification. Otherwise, the
10 market is ready. Twenty-one percent of all new vehicles in
11 California are ZEVs, this first quarter, the most ever. We
12 have a huge demand for rooftop solar and batteries, as you
13 heard this morning. We're going to be connecting tens of
14 thousands of electrical appliances over the next few years.

15 We're also in the midst of a serious housing
16 crisis. There's great demand for new housing. And as
17 you'll hear from on this panel, developers are being told
18 they have to wait months if not years to get power
19 delivered to them.

20 So in this area as in so many others, California
21 has to lead the way in not just devising its climate
22 policies but implementing them, making them happen. And
23 that's a very difficult challenge.

24 We heard from the prior panels, some of the
25 difficulties and the complexities. Some projects are easy,

1 some are more difficult. There are multiple steps, some
2 within the control of the IOUs, some within the control of
3 parties like we're going to hear from on this panel, some
4 third parties, local governments, landowners. We need to
5 make sure that whatever connection is done is done safely.
6 We heard about supply shortages, shortages in some skilled
7 work forces.

8 We have a huge challenge with rapidly evolving
9 forecasts about what load we're going to have and when it's
10 going to show up and where. And we didn't hear so much
11 this morning, but it's, of course, in the forefront of many
12 people's minds that the utilities have a lot of other
13 things on their plate. The state's being asked -- asking
14 utilities to do a lot to ensure safety against wildfire
15 risk, to modernize and make safe aging infrastructure and
16 so forth.

17 A lot's happening. We heard quite a bit from the
18 utilities about what they're doing. And if we have time,
19 we can, to the extent that any of our panelists were
20 listening in, we can get reaction to that. A lot's
21 happening at the agencies, both public, the PUC, and at
22 SMUD and others in the distribution and planning area.

23 A very exciting, I want to put a plug out to the
24 very exciting Freight Infrastructure Plan that the PUC is
25 going to be unveiling May 22nd, which is a proactive plan

1 to better match long lead-time resources needed for heavy-
2 and medium-duty fleets with where they have to be on the
3 grid, so that's a really important effort.

4 And one other shout out, too, that wasn't talked
5 about earlier, the PUC, last year, adopted a resolution
6 setting average timelines for the energizations of electric
7 vehicle projects, an average of 125 days for actions that
8 are under the control of the utility, so that's four months
9 in. It may be worth discussing how that's worked so far.
10 There are other requirements for gathering data about how
11 that's working, identifying obstacles to meeting those
12 deadlines and so forth.

13 There's also an appetite in the legislature to
14 step in. And I think you'll hear more about that from
15 Corey in his presentation. The legislature is very focused
16 on how to make sure that connections happen more quickly
17 and looking at tools to make that happen.

18 So with that, I think my last point, it's very
19 clear that we will need solutions from all the parties
20 involved in these connection processes, both the
21 interconnection and the energization process. So it's
22 great to have a panel of experts on the small wire side
23 from the developer perspective.

24 So we have four panelists talking about their
25 experiences and we asked them to particularly focus on

1 solution, pragmatic solutions, real life solutions, best
2 practices so that they can make their way into the IEPR
3 recommendations, which is a goal for many people in life to
4 have their stuff in an IEPR recommendation.

5 So the first panelist is going to be Francesca
6 Wahl from Tesla. Francesca is the Senior Policy Manager
7 for Public Policy and Business Development and she leads
8 Tesla's North American policy and implementation on EV
9 charging.

10 Francesca, the floor is yours.

11 MS. WAHL: Great. Thanks so much, Commissioners,
12 for having Tesla today on this panel.

13 I will be speaking from the perspective of an EV
14 charging developer and mainly related to our supercharger
15 projects, which is our direct current fast charging. But
16 certainly some of the information that I will provide can
17 apply to Level 2 or AC charging, as well as all the way to
18 the medium- and heavy-duty scale that we heard about in
19 some of the earlier presentations as well.

20 This particular slide is just the development
21 process in very high level buckets from an EV charging
22 developer perspective from the day that we start thinking
23 about a site, all the way until it's open to the public.
24 When we develop fast charging in California, we're looking
25 both at highway corridor fast charging, so route

1 enablement, as well as urban fast charging. So two
2 different use cases and applications, but both very
3 important to meeting EV demand across the state.

4 Next slide.

5 And then just to contextualize a bit of Tesla's
6 scale and footprint on the fast charging side, this is just
7 a graph showing how many stations we have in each of the
8 major IOU and unique territories across the state. Today
9 we have over 370 fast charging locations with over 5,200
10 fast chargers. We're looking to more than double that by
11 the end of 2024, so a bunch of more charging to come in the
12 next two years.

13 Our average site size in California is anywhere
14 from 12 to 20 fast charging stalls, but we have projects
15 ranging all the way up to our biggest one in the world,
16 which is in California, which is 98 fast charging stalls.
17 So we're definitely talking about bigger scale as we
18 continue to build out, especially highway corridor fast
19 charging sites, to help support our customers.

20 Next slide.

21 This is just a quick snapshot of what we're
22 seeing today and historically on our project timelines for
23 superchargers in California. This is all in, so the proxy
24 that we're using here is leased signs to open to the
25 public. And the median here is really around 300 days for

1 both the IOUs and the municipal utilities across the state,
2 but certainly there are projects that move much slower and
3 much faster than that.

4 And one important thing to note here is that, you
5 know, Tesla as an entity is just as much as responsible for
6 this timeline all in as the utility. And so for this
7 particular case, it's actually a 50-50 spread in terms of
8 time. And so we're really looking to work with our utility
9 partners to bring down the timelines on both ends. And,
10 you know, in looking at the PUC's energization timeline
11 targets of 125 business days, if we split this in half
12 here, you know, we're seeing roughly 150 days. So I think
13 we still have some work to do, but we're getting closer on
14 being able to meet those targets for the projects that are
15 actually participating in Rules 29 and 45 where they apply.

16 Next slide.

17 So what are some of the timeline challenges? I
18 think this will be similar to what you've heard from some
19 of the other presenters, especially the utilities earlier
20 on. We're seeing transformer shortages. We're seeing
21 disruption to construction scheduling. We're seeing right-
22 of-way permitting issues and needing to be able to
23 streamline that process. And we're seeing capacity
24 upgrades. And, you know, the delays really can range, with
25 capacity upgrades obviously being the longest timeline if a

1 substation or other distribution system upgrade as needed.
2 That can add, on average, two years to a project timeline,
3 which is really challenging. And so that's an area we're
4 definitely trying to figure out how to proactively address
5 that.

6 And then some possible solutions, I won't get
7 into this too much now, but happy to speak more to that
8 during the Q&A.

9 Next slide.

10 And then we did want to just show the cost
11 differential that we are seeing from a development
12 perspective, and this is really to highlight how, you know,
13 Rules 15, 16, 29 and 45, which have varying degrees to
14 allowances that are being covered for the customer, really
15 are making an impact from a cost perspective. And so you
16 tend to see a bit more development in the IOU territory,
17 given that on average we are seeing lower costs with those
18 new rules that cover more of the infrastructure costs being
19 applied.

20 Next slide.

21 And then finally, speaking a bit to the policy
22 problem of capacity for fast charging, I recognize this
23 slide says T&D upgrades, and we're really talking about the
24 distribution grid side here, but generally the same
25 concepts can apply in the discussion.

1 The graphic that's up on the screen on the left
2 is from a recent study in the Northeast that National Grid,
3 CALSTART, and the Rocky Mountain Institute, and some other
4 partners did trying to look at the needs for highway
5 corridor fast charging in New York and Massachusetts. If
6 you haven't had a chance to look at that, take a look.
7 It's an interesting way of just kind of thinking about what
8 we're talking about from a capacity perspective, not just
9 for light-duty, but also medium and heavy-duty charging
10 applications.

11 And I think as you've heard before, it's really,
12 you know, that delay of two-plus years, that can cause --
13 have an extreme impact. We're moving quickly, we're trying
14 to scale, and that can really slow us down. And we're
15 already behind in meeting even deployment goals with
16 customer needs for charging access. So this is a critical
17 issue that we need to address and work together.

18 Next slide.

19 So thinking about different solutions, there are
20 a lot of different ways to tackle this. And to some
21 extent, some of this is already happening, especially with
22 some of the forecasting updates that are happening as part
23 of the Demand Analysis Working Group in the IEPR process.

24 But generally, we still feel that, you know, a
25 multi-stakeholder process dedicated to looking at this

1 capacity issue, especially in the context of highway
2 corridor fast charging, whether that's for light, medium,
3 or heavy-duty, is important. So, potentially, there's an
4 opportunity to build off of, you know, a framework like the
5 California Ready Initiative amongst the agencies. That's
6 not necessarily in a regulatory process, but more as part
7 of a work group.

8 Opportunity to expand capacity in key areas.
9 While we can't always site fast charging where capacity is
10 available, since we're looking for other things like
11 amenities, available land, there is opportunity for
12 developers to look at that, so working with developers to
13 more proactively determine where there is capacity today,
14 and then how long it will take to get capacity there.

15 Ideas like looking at funding to, you know, help
16 support additional buildout, reducing any risk on
17 ratepayers.

18 And then again, looking at sort of this idea of
19 travel corridors being identified as kind of charging zones
20 and figuring out ways to work with the developers to bring
21 forward investments in those areas.

22 I'll pause there. I'm happy to take questions
23 and look forward to the discussion.

24 MR. RECHTSCHAFFEN: Thank you very much. I'm
25 sure there'll be questions.

1 Our next speaker is Rachel McMahon. Rachel is
2 very bravely, heroically doing this without slides. She is
3 a principal at Grid Power Consulting, but here representing
4 the California Energy Storage Alliance. Rachel has a long
5 history of working in the clean energy space at the
6 California Public Utilities Commission and other clean
7 energy organizations, most recently with Sunrun.

8 Rachel.

9 MS. MCMAHON: Thanks very much. And I'm going to
10 struggle to not call you Commissioner.

11 So good afternoon. My name is Rachel McMahon
12 with Grid Power Consulting, and I'm here today on behalf of
13 the California Energy Storage Alliance. Many thanks to the
14 Energy Commission for holding this workshop.

15 My comments and recommendations focus on the Rule
16 21 process as it relates to stationary energy storage. And
17 I will touch on several points.

18 So one, the first, we've heard a lot about today,
19 so interconnection timelines, as well as cost sharing,
20 installation of electrification technologies, and then also
21 grid services.

22 In opening, I'll say overall, Rule 21 is a model
23 rule in many aspects, but it really does need to evolve to
24 meet the changing needs of the grid and the electricity
25 system.

1 So starting with timelines and cost sharing, the
2 Rule 21 process has been very effective in interconnecting
3 small and solar only net metered systems. The adherence to
4 timelines is mixed for larger systems and NEM systems
5 paired with energy storage, as well as non-solar and more
6 complex distributed energy resource systems, including
7 storage and microgrids. This reality was clearly reflected
8 in an analysis produced by Guidehouse Consulting in 2021
9 for the Public Utilities Commission that examined Rule 21
10 interconnection timelines across the three investor owned
11 utilities. And we've also heard a lot of really productive
12 and interesting discussion on these topics today.

13 So some steps are, of course, underway to
14 expedite interconnection for non-NEM resource types. So as
15 the investor-owned utilities explained in great detail in
16 the prior panel, they're designing new processes to resolve
17 issues with timelines, which is great and appreciated.

18 There's also a pilot under development at the
19 Public Utilities Commission called the Notification-Only
20 Pilot that will allow small non-exporting storage systems
21 to interconnect on an expedited basis. It is a step in the
22 right direction, and this process could and should be
23 updated over time with both allowing for larger as well as
24 exporting systems.

25 And currently, exporting non-NEM distributed

1 energy resources bear the responsibility for upgrades to
2 the utility distribution system that are determined to be
3 caused by our projects, as we all know. And this
4 responsibility sinks a number of projects as the cost can
5 overwhelm the project and make it no longer cost effective
6 to install.

7 In other fora, CESA has proposed distribution
8 cost sharing for exporting DERs. A cost sharing approach
9 would more appropriately allocate the responsibility for
10 distribution system upgrades between utilities and DERs.
11 The premise of this approach is that the utility bear the
12 cost of the in-kind replacement scheduled upgrades or other
13 normal upgrades to their distribution systems. And
14 participating distributed energy resources would pay pro
15 rata shares of the costs of the incremental DER related
16 upgrades that are specifically assigned to their projects.
17 So there are similar processes on the transmission side
18 that have been around for quite some time. Something
19 similar does not exist on the distribution side.

20 Moving on to electrification. And so a few of
21 the Commissioners actually touched on this today. And when
22 I say electrification, this refers to any type of
23 electrification, whether that be home electrification or
24 onsite EV charging or simply pairing storage with a
25 customer's onsite solar system.

1 Any of these additions typically require upgrades
2 to the main panel in homes and businesses. And currently,
3 utilities require utility employed electricians to be
4 present when performing the disconnect and reconnect of the
5 customer's main panel. And the result is that oftentimes
6 customers have to wait months sometimes to interconnect a
7 system, which is a horrible customer service experience.

8 And this problem is only exacerbated in the near
9 term by the recent massive volume of interconnection
10 requests from customers that wish to operate systems under
11 the second iteration of the state's net metering regime.
12 The spike in applications was discussed in details by the
13 representatives from the three investor owned utilities.

14 And importantly, the need for main panel upgrades
15 will increase in the future as the solar industry finds its
16 footing under the Net Billing Tariff, which effectively
17 changes the state's customer-sited solar market to a solar
18 and storage market going forward. And as David Erne
19 highlighted at the start of this workshop, interconnections
20 for customer-sited solar storage and EV charging will
21 hockey stick in the next 10 to 15 years, so this is a
22 problem that must be addressed.

23 So I have one recommendation here. In a few
24 instances, utility field offices have let qualified
25 electricians, on the behalf of third parties, do the

1 disconnects and reconnects, or so-called hot work. But
2 this is not consistent among the utilities nor is it really
3 widespread at all. It's just really a few instances.

4 Allowing qualified electricians employed by third
5 parties to perform this work will support operationalizing
6 and energizing these technologies far more rapidly. And
7 this is a simple and actionable solution that can happen in
8 the short term. It does not require a decision from any
9 agency nor a multi-stakeholder process. So this is just
10 specifically utility processes and preferences.

11 Finally grid services. So I'll start with non-
12 export requirements. So storage-only and generally non-NEM
13 systems typically have non-export provisions in their Rule
14 21 interconnection agreements. This does not always result
15 in the most optimal use or design of these assets. So
16 first, this load-limited model in some cases results in
17 undersizing the energy storage system. And second, this
18 design hampers the ability for behind-the-meter energy
19 storage to provide exports under emergency reliability
20 programs.

21 Increasingly, our leadership in California is relying
22 upon distributed energy and load resources to dispatch in
23 emergency grid conditions. Systems with a non-export relay
24 cannot provide energy-only exports to programs like the
25 Emergency Load Reduction Program designed by the Public

1 Utilities Commission, nor capacity exports under the Energy
2 Commission's proposed revisions to its Demand Side Grid
3 Support Program. This is contrary to the best interest of
4 the grid and ratepayers and clearly evolving state policy.

5 And finally, Rule 21 interconnected DERs may not
6 participate in the wholesale market as exporting. Instead,
7 these resources must pursue an entirely separate
8 interconnection process called the Wholesale Distribution
9 Access Tariff, which is jurisdictional to neither the state
10 of California nor the CAISO itself. This is one of the key
11 barriers to wholesale market participation by these
12 resources. And I'm not aware of any practical physical
13 reason why this dual process must continue to exist.

14 Instead, Rule 21 should be modified to allow
15 exporting DERs to participate in the wholesale market maybe
16 with some additional studies and process rather than
17 requiring a separate process.

18 So thank you and I look forward to the
19 discussion.

20 MR. RECHTSCHAFFEN: Thank you, Rachel. Thank you
21 for being so concrete with those recommendations.

22 So our next speaker actually is subbing for our
23 JT Steenkamp. I'd like to welcome Henrik Holland, who is
24 the Global Head of Electric Vehicle Charging at Prologis.
25 Henrik previously was the Chief Operating Officer at Shell

1 Greenlots.

2 Please go ahead, Henrik.

3 MR. HOLLAND: Thank you so much. And thank you
4 so much for having us here at this session today.

5 For those of you who are not familiar with our
6 company, Prologis is the world's leader in logistics real
7 estate, meaning that we build and operate logistics
8 facilities globally. With assets totaling over 1.2 billion
9 square feet, approximately 2.8 percent of global GDP flows
10 through our almost 6,000 properties each year. This
11 includes essential goods Californians need to live their
12 daily lives.

13 We were founded and have our headquarters in San
14 Francisco. And while we operate in 19 countries,
15 California is our largest market, where our portfolio
16 includes over 200 million square feet of space across
17 nearly a thousand properties.

18 Next slide, please.

19 Prologis has committed to reaching net-zero
20 emissions for our entire value chain, so that includes
21 Scope 1, 2, and 3 emissions by 2040. To support this
22 commitment, we've set a goal of deploying 1,000 megawatts
23 of solar storage and EV charging capacity across our global
24 properties by 2025.

25 Next slide, please.

1 To help us meet our net-zero goals, our energy
2 business is expanding solar generation and battery storage
3 at our properties, and our mobility business is installing
4 EV charging infrastructure for fleets.

5 In 2022, Prologis was ranked the number two in
6 corporate onsite solar. Prologis is leveraging our rooftop
7 solar potential, which will support the state's goal of
8 reaching 100 percent of zero-carbon electricity sales by
9 2045.

10 Now our customers look for our help as they
11 electrify their medium- and heavy-duty trucking fleets
12 across last-mile, drayage, and other applications. Our
13 mobility business is developing truck charging
14 infrastructure at warehouses and at dedicated charging
15 hubs. We have already publicly announced two of the very
16 first heavy-duty trucking installations in California with
17 many more in development.

18 Now I don't have to tell you that the rest of the
19 nation is watching California's transition to zero
20 emissions. But our success depends on fast decision
21 making, new ways of working, and strong public private
22 partnerships. From our perspective, the California Energy
23 Commission can assist in these efforts by addressing the
24 following five challenges.

25 First, streamline the service connection process

1 for EV load electrification. A significant barrier for the
2 deployment of electric fleets is the speed of securing
3 service connections. These connections can take years for
4 large installations, which is very common in the energy
5 intensive commercial EV fleet segment. This will stand in
6 the way of achieving the ambitious electrification goals
7 that state and local governments have set, including our
8 customers.

9 The private sector can't address this issue
10 alone, so we're asking the CEC to evaluate how utilities
11 and public agencies can streamline and prioritize service
12 connections for fleet electrification. Solutions may
13 include upfront commitment from project developers, site
14 control, load justification and guarantees, which should
15 reduce the logjam from speculative projects, making it
16 faster to develop committed projects.

17 Next slide, please.

18 Second, remove the limitations on companies to
19 self-generate power for commercial EV fleets. To address
20 the challenge of the long service connection timelines that
21 I mentioned, Prologis has developed zero and near-zero
22 emissions electricity generation solutions that could
23 provide temporary power first, and then backup power to
24 provide grid resiliency services once utility services are
25 in place. However, these solutions are not always possible

1 and depend on utility policies.

2 Given the demand on the grid and interconnection
3 queues, we need to find ways to allow industrial customers
4 more options to self-solve with these types of temporary
5 power assets, which can then transition to support grid
6 resiliency once an interconnection has been established.

7 Third, reform the interconnection process for
8 distributed front-of-the-meter projects. The current
9 interconnection process for front-of-the-meter projects
10 isn't well-suited for distributed scale projects for 5
11 megawatts or less. All front-of-the-meter projects
12 currently require medium voltage interconnection via a
13 Wholesale Distribution Access Tariff, which is both
14 expensive and unnecessary for this size of project.

15 There are also constraints on the Wholesale
16 Distribution Access Tariff, or WDAT, Fast Track process for
17 smaller systems, which include batteries that unnecessarily
18 limit how the batteries are sized and used. The WDAT Fast
19 Track process doesn't currently allow for allocation of
20 deliverability. The CAISO only assigns deliverability for
21 projects including distributed scale projects through the
22 cluster study process, which means that distributed scale
23 projects that can come online technically in a one- to two-
24 year timeframe must wait for three years or longer to be
25 granted deliverability.

1 These interconnection challenges are inhibiting
2 the development of distributed scale front-of-the-meter
3 projects. And given the urgent need for new reliable
4 capacity in California and the ability for distributed
5 storage resources to be deployed on an expedient timeline,
6 it is critical that the state develop a dedicated
7 interconnection process which includes deliverability study
8 for distributed scale resources.

9 Fourth, support CAISO's and investor-owned
10 utilities' efforts to improve the cluster study process.
11 Prologis submitted a number of interconnection applications
12 for the development of new renewable energy projects in the
13 Cluster 15 process, and we support the effort to implement
14 structural reform for this process that encourages
15 applicants to demonstrate achievement of development
16 milestones including site control. This will focus the
17 study efforts on projects that are being pursued by serious
18 developers and have a high probability of success.

19 Finally, promote opportunities for rooftop solar
20 deployment, including supporting a broad community solar
21 program across California, as other states have done, like
22 New York and Illinois.

23 In closing, Prologis is keenly focused on helping
24 logistics businesses in California transition to clean
25 energy. However, the private sector cannot deliver the

1 charging and clean energy infrastructure needed to meet the
2 state's ambitious goals without a strong partnership with
3 utilities, state energy regulators, and local and state
4 elected officials. We think that part of that partnership
5 is governments and public agencies setting aside
6 traditional approaches to meeting power needs of our
7 communities, customers, and businesses. Working together,
8 we can lead and show once again that where California goes,
9 so goes the nation.

10 Thank you very much.

11 MR. RECHTSCHAFFEN: Can I ask you a quick follow-
12 up question? Those two charging depots you mentioned,
13 those two charging depots you mentioned right at the start
14 of your presentation, where are they located?

15 MR. HOLLAND: They're in Southern California,
16 Santa Fe Springs and the City of Commerce respectively.

17 MR. RECHTSCHAFFEN: Okay. And who's the electric
18 utility in those?

19 MR. HOLLAND: These are both Southern California
20 Edison Territory projects.

21 MR. RECHTSCHAFFEN: Okay. Great. Okay, well,
22 thank you very much, Henrik.

23 Our last speaker is Corey Smith, who is the
24 Executive Director of the Housing Action Coalition, a
25 nonprofit that advocates for building more homes at all

1 levels of affordability across the Bay Area. And I bet
2 Corey never dreamed that he would be immersed in energy,
3 wonky energy division policy when he took this job, but
4 here he is.

5 Go ahead, Corey.

6 MR. SMITH: You're not kidding. I've learned
7 more about this in the last couple of years than I had ever
8 anticipated. And it's relevant to the home building
9 challenge. So thank you, Cliff, for having me. And good
10 afternoon, everybody. Corey Smith, Housing Action
11 Coalition.

12 Next slide.

13 Just to give you kind of a little bit of quick
14 context as to who we are and how we sort of play into this:
15 so as mentioned, we do housing advocacy at all income
16 levels, meaning we want to see supportive homeless housing,
17 subsidized affordable housing and market rate housing get
18 built faster across all of California. We do primarily
19 work in the nine-county Bay Area, and then in Los Angeles
20 and Orange County as well. And we are a member funded
21 organization, so people that build housing, but we also
22 work in between both government entities, and in this
23 situation, the investor-owned utilities and municipal
24 utilities, as well as the general public. So we try to be
25 a connector of stakeholders in a certain sense.

1 And next slide.

2 Over the last couple of years, we heard continued
3 complaints, quite frankly, from our members related to the
4 permitting process. And upon diving into that, I've had
5 now a couple of people tell me that quite literally every
6 single project that they are doing faces some sort of delay
7 at some point in the process. And oftentimes, quite
8 frankly, this is just because of the poor system that we
9 have set up between project applicants, a municipality,
10 city and county and a utility company, regardless if they
11 are a municipal utility or an investor owned utility.

12 And it is, again, kind of start to finish, to be
13 perfectly honest, from the initial preparation of plans, I
14 mean, before applications even come in during the review
15 process. The idea of disconnecting and temporary power got
16 mentioned, some of that hot work or dirt work, another kind
17 of way to put it. And then at the very end, we heard
18 continuous complaints about this final interconnection.
19 And as, basically, our members have put it, we've got a
20 building that's completely done and people are ready to
21 move in, but just getting it connected to the grid is
22 taking longer than expected.

23 Next slide.

24 So there's a variety of reasons that this is the
25 case. I'm actually not going to touch too much on this,

1 because I think it's been probably hammered home throughout
2 the day.

3 Two things I do really want to hammer home,
4 though, that we have heard, number one, this concept of fee
5 for service and that this is something that project
6 applicants and our members are paying to get done. So it's
7 not kind of part of the essential infrastructure work
8 where, in our case, you know, developers, affordable
9 housing developers or market rate developers are paying to
10 get this final interconnection done so people can move in.
11 And that's not happening in a timely fashion.

12 And while it's always been a frustrating thing,
13 if you ever talk to a developer, they're probably as
14 hyperbolic of an industry professional as you can ever,
15 ever find. While it's always been challenging at times,
16 we've consistently heard that the last ten years or so have
17 just gotten much, much worse.

18 Next slide.

19 So we wanted to try to get an understanding and
20 quantify some of these delays. And we focus -- we're a
21 housing organization, so we're really pushing on kind of a
22 housing piece of it. But we asked the three investor-owned
23 utilities to basically provide data on the queue for
24 interconnections for both commercial projects and
25 multifamily projects.

1 And so you can see breaks out, and this is self-
2 reported data from PG&E, SoCal Edison and Sempra, where
3 PG&E, far and away, has the longest and largest queue.
4 They certainly have the largest service areas as well. And
5 SoCal Edison definitely has fewer in the queue. And then
6 in San Diego, they've actually got nothing longer than 30
7 days. And on the graph on the right, you can see for the
8 multifamily really where our focus is, where a lot of these
9 delays are occurring based on the actual county.

10 Next slide.

11 We also wanted to get an idea of some of the
12 historical timeframes. And after hearing, you know, some
13 other folks, and there are certainly examples of folks
14 waiting months and years, on the left is PG&E, SoCal Edison
15 on the top right, and then Sempra on the bottom right. You
16 can see again, these are self-reported times of how long
17 people are actually waiting to get energized in the
18 multifamily space.

19 And so for some of these, especially SoCal
20 Edison, I mean, it's literally a week or two, which feels,
21 I think for everybody here, pretty reasonable considering
22 how complicated it is and all of the moving pieces. And
23 Sempra has had, it looks like, some more delays in the
24 past, but they've actually very much gotten that number
25 down over the last few years, so projects are getting

1 connected faster.

2 As was brought up by Cliff earlier, this has
3 gotten a lot of political attention. I think it really
4 started maybe in the middle of last year. I started to
5 hear it more and more. And if you jump to the next slide,
6 we've had a lot of recent press coverage, especially again,
7 kind of hammering fairly or unfairly against PG&E.

8 These were all corresponding with a bill that we
9 were sponsoring with state Senator Scott Wiener. There was
10 a recent claim by the City of San Francisco that total
11 delays on the multifamily housing projects cost the city of
12 San Francisco on affordable housing, \$41 million. And that
13 wasn't just for the interconnection, that was for kind of
14 the whole spectrum of challenges working between the
15 municipality and the utility companies.

16 Next slide.

17 So this is actually where some, quite frankly,
18 juice is actually starting to get created. So we co-
19 sponsored a bill with the Construction Employers
20 Association. And I see actually a number of people in the
21 audience we kind of talked to throughout that process. We
22 originally had that the IOUs would be required to connect
23 all new projects to the grid within an eight week timeframe
24 or pay a 25 cent carrying cost per square foot per day on
25 that delay.

1 There was, a competing bill is probably the wrong
2 way to say it, but another bill in the same space from
3 Senator Becker. And this was actually sponsored by, I'm
4 not actually positive if it was IBEW -- yeah, the Coalition
5 of California Utility Employers, and the electrical workers
6 generally are actually sponsoring this bill with Senator
7 Becker, recognizing this challenge. And our bill
8 effectively got amended. And I see I put September 20th,
9 it's actually also September 30th, 2024.

10 So what SB 410 does -- and I really recommend
11 everybody looking at it, because for all of the
12 conversations about, hey, we need to create a process so we
13 can actually figure out rules around this electrification,
14 Senate Bill 410 does that. It requires the CPUC --
15 congratulations to everybody that will have to work on this
16 if it passes -- establish a working group by March 1st,
17 2024, to propose processes that would improve the ability
18 of electrical corporations to be informed well in advance
19 of needed distribution system capacity for future housing,
20 building electrification, electric vehicle charging
21 infrastructure, and other activities that require increased
22 distribution system capacity, and by September 30th, not
23 20th, 30th, 2024, try to set targets for what these
24 connections, like how long they will actually take.

25 And if a world where both of these bills pass, we

1 also give the CPUC power to potentially impose a fee on the
2 actual IOUs themselves in order to reimburse the applicant
3 for, again, those delays that take time.

4 There are a number of other bills on this issue.
5 Assemblymember Wood, AB 50 is another one that's in the
6 space. But I mean, it is not understating that the
7 legislature has heard about this. I know that the
8 governor's office have had conversations with Jason
9 Elliott. If folks know who he is, he works on housing.
10 They have heard this really consistently. And so the
11 energy to actually fix this problem, no pun intended, is
12 there.

13 So always the most important thing -- next
14 slide -- is recommendations and how we actually get there.

15 So this first piece is, I think, pretty common
16 sense and everybody can probably get on board with this.
17 Everybody wants firm and predictable timelines for each
18 part of the process, including the interconnections or
19 energization. Having some sort of financial carrots-and-
20 stick model to really incentivize that improvement, we
21 think makes a lot of sense.

22 We had a conversation. I think he's still here.
23 Edward Randolph recommended looking at Hawaii. They have
24 an interesting model where they look at carrots and sticks.
25 And I believe the next panel, somebody from Hawaii will be

1 on.

2 And it's a little bit of a challenge because some
3 of this is, quite frankly, essential infrastructure. And
4 when we set up our systems in a way where there's only one
5 game in town to be able to do something, we expect them to
6 be able to do it in a timely fashion. If not, and we have
7 no other recourse, it makes it really, really difficult.

8 So trying to figure out how can we both create
9 those financial incentives, and if it's resourcing
10 challenges, people are paying for interconnections, so that
11 should help solve that problem but we totally understand
12 that what companies are asked to do is really significant,
13 and at the same time, we actually do need to move on these
14 things. Because it's not just housing or commercial or any
15 one type of industry that is being impacted by this, hence
16 the very broad range of industries here today.

17 And we are a big, big believer that outsourcing
18 that work to qualified third parties, whether they're
19 subject to a collective bargaining agreement, we totally
20 understand the politics of that, that that will do a lot to
21 make it go faster.

22 Next slide and that is it.

23 MR. RECHTSCHAFFEN: Thank you, Corey. And just
24 to add to one of the points in your last slides, in
25 California, the way we've typically done rates, the PUC,

1 the utilities do not earn risks -- they do not earn
2 incentives or suffer fines or penalties if they don't meet
3 certain targets. We haven't done very much performance-
4 based rate making with some exceptions, but we haven't
5 embraced it in the way others have. So that's one
6 solution, as you mentioned, being looked at by the
7 legislature.

8 So I'm going to invite all the panelists to come
9 back on and I'm going to have a few questions. We have a
10 few minutes and then we're going to turn it over to the
11 dais.

12 Let me start with all of you and just ask you to
13 identify maybe one or two of what you think are the best
14 practices that have been adopted by one utility here or
15 somewhere else that you think should be more broadly
16 implemented? To the extent you haven't already flagged
17 that in your remarks, are there other things you could say
18 are the most important best practices you'd like to see
19 more broadly adopted?

20 We can go in the order that people spoke and so
21 we can start with Francesca.

22 MS. WAHL: Yeah. Great question.

23 I would say one thing that was talked a lot
24 about, not in this particular context that in the previous
25 panels, is in terms of sharing information both ways from a

1 transparency perspective, so, you know, information from
2 the developer side in terms of the pipeline, but also vice
3 versa from the utility side in terms of capacity
4 constrained areas, expected timelines for each step of the
5 process. That has really been helpful. What is the
6 utility holding itself accountable to? So we as a
7 developer understand how much each part of the process
8 should take.

9 And then to go along with that, dedicated staff
10 has been really helpful. I know that's kind of gone back
11 and forth depending on the budgets across the utilities and
12 how many applications are being done. But, you know, not
13 just dedicated staff on the intake side, but also on the
14 construction side potentially in terms of looking at, you
15 know, who's working on what types of projects and
16 standardizing that part of it. Because while many of these
17 projects for charging can be different, they all look
18 somewhat similar to some extent. And so there can be some
19 level of standardization that starts to take place, even
20 though we're not really at the cookie cutter point yet.

21 MR. RECHTSCHAFFEN: Thank you.

22 Rachel, anything you wanted to highlight?

23 MS. MCMAHON: Sure. And there are two points
24 that I went over in my opening comments.

25 So one is, and we can point to it, this is the

1 cost-sharing model that I mentioned for behind-the-meter
2 resources that are not exempt from the cost of utility
3 upgrades. The cost-sharing model that I mentioned is used
4 in the Northeast, like New York and Massachusetts. So
5 there certainly are models in those jurisdictions for
6 California to look to.

7 And then also, and I noticed Corey mentioned this
8 on his last slide, the recommendation to allow third
9 parties to do some of the work in order to expedite the
10 installation and operationalization of these technologies.

11 MR. RECHTSCHAFFEN: Thank you.

12 Henrik?

13 MR. HOLLAND: So in our experience, as well,
14 whenever we can get a positive and kind of constructive
15 dialogue on capacity availability, that's super helpful in
16 the areas where we are developing. So having more up-to-
17 date and reliable information on grid choking points,
18 available capacity, and what plans are for capacity
19 expansion is super helpful because that really allows us
20 then to plan our portfolio. And we've seen some good
21 movements in that direction.

22 I mentioned temp power in my presentation. So
23 coordination on running temporary generation solutions for
24 a period of time and aligning that with the utility service
25 delivery process has been something that is new for us in

1 utilities but is an important area where we've seen some
2 great movement.

3 And the dedicated staffing has been mentioned. I
4 think we need to be a little careful. And I see a little
5 bit of that of kind of solving process issues with just
6 more people to expedite things. So I think it's a little
7 bit of a balance where we've definitely seen improved
8 performance from, you know, having a committed account
9 person who really sees things through from start to finish
10 on a project. I do think that there is a little bit of,
11 okay, let's put some people against things that are really
12 kind of stuck from a process perspective.

13 So those are the three things that I'd want to
14 highlight.

15 MR. RECHTSCHAFFEN: Can I follow up with you
16 about your temporary power idea? What's the roadblock to
17 doing that under the current system? And have you been
18 doing it elsewhere in other jurisdictions?

19 MR. HOLLAND: Yeah. The two jurisdictions where
20 we've progressed this solution in California are in LADWP
21 territory and in SCE territory. And we have a system up
22 and running in Illinois as well. So the system in Chicago
23 was not an issue whatsoever. With SCE, that's been a good
24 process as well. With DWP, it's been a little bit trickier
25 because of the city charter they have around being the sole

1 generator of energy in their territory. Really
2 constructive dialogue working that through, but that's the
3 experience that we have.

4 MR. RECHTSCHAFFEN: Corey, did you want to add
5 anything?

6 MR. SMITH: You know, I think the three did kind
7 of touch on everything. I just kind of want to give an
8 extra plus-one to that idea of communication between all of
9 the stakeholders.

10 I joke that wouldn't just a shared database that
11 could be donated from somebody in this audience and just a
12 simple, hey, we're going to work off the same document and
13 we're going to have our notes shared instantly between a
14 project applicant and a utility company and a city and
15 county, it feels like very Google business model 1997 and
16 is something that I think is a huge barrier today, because
17 it's not always the cost that is the biggest fear for at
18 least residential developers. It's the uncertainty. And
19 oftentimes, you know, they'll be willing to pay for that
20 upgrade as long as they can know that that upgrade is going
21 to happen in a certain period of time.

22 What practically happens is project applicants
23 will go to a site expecting that that's the day that it's
24 going to get interconnected because that's the day that the
25 appointment was set and then the IOU just doesn't show up.

1 And they've coordinated all of these things and they had no
2 idea that the utility company wasn't even going to come,
3 and then they get the email of, hey, we had an issue.

4 So communication between all the stakeholders,
5 like every part of life, would do a lot.

6 MR. RECHTSCHAFFEN: Well, let me follow up and
7 turn it around a little bit on the communication part
8 because I heard all of you talk about greater transparency
9 and visibility into capacity limits and expected timelines.

10 The utilities told us, and they've said for a
11 long time, they want earlier intelligence, especially for
12 larger distribution projects. They want fleet owners, they
13 want everyone to share development plans as far in advance
14 as possible and to anticipate what customers need so it's
15 not a just in time deployment. Can we do that? It's
16 impossible to do it completely but can we be, can the
17 developer community be better at anticipating where the
18 needs are especially now that we have state policy more
19 firmly in place?

20 So I'm going to start -- this time I'm starting
21 with you, Corey, even though you may not have -- it may be
22 a different set of clients or groups that you're
23 representing, but just to be fair we'll go in the opposite
24 direction.

25 MR. SMITH: Yeah. I mean I think that

1 residential builders would have zero issue sharing every
2 piece of information they possibly can at the earliest
3 possible point if that would help with things.

4 What does happen now, just as an example of how
5 broken the system is, because project applicants know that
6 there's going to be a delay, so oftentimes they'll apply
7 before they're even ready just with the intent of getting
8 into the queue. Then the utility company is sitting there
9 going, well, your application is not complete we need more
10 information to do something, and then they spend time on
11 that and dealing with this back and forth.

12 So there's definitely improved communication and
13 transparency that can happen from the developer project
14 applicant side to the utility companies 100 percent.

15 MR. RECHTSCHAFFEN: And, of course, we've seen
16 that process replicated on the on the front-of-the-meter
17 side, and Henrik talked about it, that's one of the reasons
18 there's so many projects in the clusters because people are
19 afraid their project won't get approved. And we heard the
20 utilities this morning talking about it and PG&E said
21 something like two-thirds of interconnection projects or
22 large interconnection projects don't see themselves to the
23 end. So there may be reforms needed on this part of the
24 process to help deal with that.

25 Okay, Henrik, how about you, early intelligence?

1 MR. HOLLAND: Yeah, and to your last point, but
2 that's what we point to in our comments, as well, is that
3 these queues are really jammed up with these projects
4 because people throw them in because it takes so long and
5 you get a whole bunch of projects in there that will never
6 materialize.

7 From our perspective, yeah, the answer is, yes,
8 to your question: Can we be/are we willing to be more
9 transparent and open on development pipeline? The short
10 answer is, yes, absolutely. And I do think with the
11 largest IOU in California, we have, I think, a really good
12 open dialogue about where we see that load materialize.

13 Some of the challenges with the EV projects can
14 be that you really need to point to vehicle acquisition
15 plans. When you're a developer like us, like we don't buy
16 those vehicles; right? So completely understand that there
17 has to be a view of load materializing.

18 The challenge that we see with some of the
19 programs that are out there is you have to demonstrate a
20 vehicle acquisition plan, a developer doesn't have that
21 plan, so now you're stuck in the situation where until
22 these vehicles have been ordered on a six-month delivery
23 timeline, boom, right, you only have six months now to get
24 your project up and running. Well, that's going to take 18
25 months, so now you have vehicles sitting idle. So super

1 interested in deepening that collaboration on pipeline.

2 There's a few things on the EV side as it comes
3 to figuring out how to get certainty on load that, I think,
4 would unlock a more rapid deployment of infrastructure in
5 advance of vehicles making it the sites to avoid the risk
6 of having stranded vehicles.

7 You're on mute.

8 MR. RECHTSCHAFFEN: Sorry. Thank you for those
9 comments.

10 Rachel, did you want to add anything on this
11 point?

12 MS. MCMAHON: Sure. So I'll agree with everyone
13 that greater communication is always beneficial in these
14 processes, as is in life, as one of my co-panelists
15 mentioned.

16 One quick comment, even though we are talking
17 about the distribution system, but the issue of there being
18 so many phantom projects, so to say, and the transmission
19 queue clusters, that's historical. And it's largely just
20 because of the chicken-and-egg process. And I'm speaking
21 specifically about stationary resources, not electric
22 vehicle fleets.

23 Because of the chicken-and-egg in the contracting
24 process, like in order to show that you're viable and
25 responding to a utility RFP you have to show you have a

1 queue position or show you submitted an interconnection
2 application, so there's this timing game that happens
3 between all these resources. I think that, you know, if a
4 cluster cost-sharing process were also created on the
5 distribution side, which is one of the recommendations that
6 I mentioned earlier, I think there may be ways to manage
7 around basically kind of recreating the same thing that
8 exists on the transmission side, given the fact that these
9 installations are largely kind of customer driven.

10 MR. RECHTSCHAFFEN: Okay.

11 And Francesca?

12 MS. WAHL: Yeah, I'll just add from Tesla's
13 perspective, because we are a manufacturer of EVs and a
14 developer, we sort of have a unique view into, you know, we
15 know vehicle demand to some extent and what we need to
16 meet. So as a best practice, we try to share our pipeline
17 at least three years out with our utility partners. As you
18 get further out it's obviously not as specific, but we can
19 still say, you know, in this particular area we expect to
20 need this many megawatts of service, so at least we can
21 have that shared with our partners.

22 So definitely something I think we can be doing
23 more of but certainly knowing that as we get further out
24 it's a bit, you know, less location specific and we have to
25 look a bit broader in the territory.

1 MR. RECHTSCHAFFEN: I wanted to note, and some
2 folks may know this already but the California
3 Transportation Commission has identified high priority
4 freight areas, and also been looking at the number of
5 chargers we need statewide, as well as on those corridors,
6 to meet our EV goals.

7 And I hope that as part of that they will
8 identify the best areas on the corridors in terms of a
9 whole range of criteria that some of you talked about for
10 where charging should be to provide more certainty both to
11 the utilities and the fleet owners. That seems to me to be
12 a very promising initiative by the California
13 Transportation Commission. I don't know if anyone wants
14 to -- has been following that process as it's been going
15 along.

16 Alright, let me ask a couple more questions and
17 then we'll turn it over to the dais, and anyone can jump in
18 here.

19 I haven't heard anyone talk too much about the
20 need for more permit streamlining at the local level,
21 although that was -- it was certainly mentioned that that's
22 an important factor. Any important recommendation folks
23 have on that area? Anything that's really irksome at the
24 moment?

25 MR. SMITH: I mean, I can jump in a bit.

1 MR. RECHTSCHAFFEN: Yeah.

2 MR. SMITH: So this kind of goes back, right,
3 because a lot of these things, you do have to touch
4 multiple agencies and different jurisdictions. We
5 sponsored a bill last year that was just related to housing
6 where comments needed to happen within 30 days or 60 days
7 based on a size of a project. And, you know, I think
8 putting timelines around that type of communication that is
9 both reasonable but keeps the ball moving is helpful.

10 And then kind of re-upping everybody's kind of
11 communication piece earlier, if there's timelines and
12 there's more communication, and potentially the
13 applications coming in are higher quality because we fixed
14 the system, I think the entire chicken-and-egg problem goes
15 away a little bit, definitely a part of it.

16 MR. RECHTSCHAFFEN: Any other thoughts?

17 Go ahead, Francesca.

18 MS. WAHL: Yeah, I was going to add I did have
19 right-of-way permitting on our slide, you know, and that
20 being a cause of delay. And I think there, really, the
21 challenge can be, and we call this part of clearing
22 dependencies with the utility, and so if the utility is
23 managing that process and we're not managing it, sometimes
24 it's hard to perfectly understand what the challenge is
25 with getting that cleared through Caltrans or another

1 entity who's responsible for that.

2 And so I think there's definitely some room for
3 improvement there, but I don't have any great silver bullet
4 to say this is exactly how we do it, but definitely
5 something that impacts projects and can add, you know,
6 three to six months to the timeline.

7 MR. RECHTSCHAFFEN: Fair enough.

8 I wanted to ask you, Francesca, while the mic's
9 open, one of your recommendations in your slides is to
10 provide, you call it provide beneficial EV line extension
11 treatment. What does that refer to? What do you have in
12 mind there?

13 MS. WAHL: Yeah. Good question. I think this is
14 like the last slide that I actually didn't get into which
15 is more of the kind of national slide that I threw up in
16 terms of what we see across the country.

17 I would say, you know, in California on the IOU
18 side, we now have Rules 29 and 45, and so they are
19 addressing that part of it, especially having the
20 energization timelines target tied to those projects can be
21 really helpful.

22 On the municipal utility side, you know, you
23 don't necessarily have that same process replicated yet, so
24 there might be an opportunity there to work with the
25 municipal utilities to look at something similar,, and

1 maybe it's part of a make-ready program or it's just part
2 of the standard, you know, new service process. But that
3 might be something to look at to kind of conform a bit more
4 with what's happening on the IOU side.

5 MR. RECHTSCHAFFEN: Great.

6 Okay, I'm going to open it up to the dais now.
7 And if anyone has any questions for our panelists, raise
8 your hand.

9 Commissioner Monahan.

10 COMMISSIONER MONAHAN: I am raising my hand very
11 politely Mr. Rechtschaffen.

12 This has been a great panel.

13 Oh, and I also want to recognize that
14 Commissioner Shiroma has joined us, so welcome Commissioner
15 Shiroma.

16 And I want to follow up, actually, on something
17 that Henrik said, which I hadn't realized that there needed
18 to be a demonstration of the vehicles coming before you
19 could get approval for infrastructure. Can you just tell
20 me a little more about that? That's the first time I've
21 heard about this.

22 MR. HOLLAND: Yeah, specifically let me point to
23 the Charge Ready for Transport Program that is administered
24 by SCE. That provides a level of funding towards the
25 front-of-the-meter infrastructure, and even behind-the-

1 meter, if you can demonstrate a vehicle acquisition plan.
2 So that's an example of a program that's been designed with
3 that particular item in mind. And, look, I think that kind
4 of -- I understand what the intention is of that because
5 that ensures that there is load certainty on the customer
6 side.

7 As I said the challenge with that program for the
8 industry is that the developers and the infrastructure
9 owners and operators are oftentimes not the entities that
10 actually procure the vehicles. And that's kind of the dual
11 challenge of the EV industry is that you have the chicken
12 and the egg of the infrastructure and the vehicles.

13 Sometimes our customers don't even own their own
14 vehicles, right, so they lease vehicles from a fleet
15 management company. And in some cases then a lease is not
16 a sufficient proof point to make an application into a
17 program like that.

18 So that's the kind of -- just to make it very
19 tangible, that's what I'm pointing to.

20 COMMISSIONER MONAHAN: And maybe, Cliff, you
21 might know the answer to this, but is this specific to SCE
22 and Charge Ready or is this more applicable?

23 MR. RECHTSCHAFFEN: I don't know the answer to
24 that.

25 COMMISSIONER MONAHAN: It's an interesting one

1 because, I mean, we faced this with vehicle incentives and
2 we --

3 MR. RECHTSCHAFFEN: Yeah.

4 COMMISSIONER MONAHAN: -- you know, have the
5 problem with like a school district will get an incentive
6 for a school bus and then they're like surprised that it
7 takes another year to get the charger. And it's a problem
8 because the school buses, they want to transport kids and
9 it's sitting there idle, you know? So we're experiencing
10 that too.

11 MR. HOLLAND: Absolutely. Yeah.

12 And just to answer your question, so PG&E has a
13 similar program, so I'm pointing to SCE CRT. That's the
14 program that we have most experience with, but we've seen
15 that with the PG&E program and with a number of out-of-
16 state programs as well. So what we then end up doing is
17 having to look at, well, what's the funding available for
18 public charging infrastructure and can we then tap into
19 that? But that doesn't really meet the needs of customers
20 today who are looking at fleet electrification as these are
21 kind of private behind-the-meter charging type projects,
22 which is really the type of projects that near term are
23 going to get the industry going.

24 MR. RECHTSCHAFFEN: Commissioner Gunda.

25 VICE CHAIR GUNDA: Thank you Commissioner

1 Rechtschaffen. I think I struggle with not calling you
2 Commissioner either. I mean, you did say that you needed a
3 longer title, so I will say former Commissioner
4 Rechtschaffen, thank you for moderating the panel and a
5 really wonderful presentations. And thank you for the
6 questions that you brought out.

7 So a couple of questions to Henrik, just if you
8 could kind of frame this? So we are talking about, you
9 know, that you have the overarching issue of the
10 transmission that we discussed last time, we're talking
11 about the distribution now. You know, I'm kind of just
12 contextualizing this in a little bit of the trade-offs;
13 right? I mean so we have lots of work to do very quickly.
14 We have to green the grid very quickly. We have to do the
15 electrification. So I'm kind of like in this in the space
16 of trying to figure out grid solutions; right?

17 And then one of the grid solutions that you kind
18 of pointed to was how can we have onsite generation that's
19 not necessarily plugged in --

20 MR. HOLLAND: Yeah.

21 VICE CHAIR GUNDA: -- you know, to the broader
22 grid.

23 So I think starting off with that, you know, how
24 do we scale those kind of near-term solutions to enable
25 electrification -- I think it goes to, Corey, to you as

1 well -- when we talk about this in kind of trade-offs? You
2 know, do we want to do -- what do we want to do? We want
3 to electrify first? Do we want to green it first? You
4 know, how do we tackle these timelines?

5 Do you see opportunity as we think about
6 decarbonizing from the gas system? You know as Henrik is
7 pointing out, there's opportunities for onsite generation
8 to potentially electrify, you know, multi-residential,
9 right, you know, homes. Like how do we think about this?
10 Any high-level policy ideas on two elements, how do we
11 build consensus and thinking around the trade-offs, and how
12 do we land some, you know, near-term solutions that does
13 societal good as we are continuing to transform the broader
14 aspects?

15 MR. HOLLAND: Yeah, just to give you -- thank you
16 for the question, Commissioner. I think that we have such
17 an ambitious set of goals ahead of us that over the next,
18 you know, decade, it's kind of we need all of the above to
19 really move the ball forward.

20 So the temporary and distributed generation-type
21 assets that we -- that I just talked about today and that
22 we have been looking at for near- to medium-term solutions
23 to electrify, you know, to create a lot of power onsite for
24 these heavy-duty fleets does have a renewable natural gas
25 component to it, a natural gas or renewable natural gas

1 component to it.

2 The asset that I showed on the slide was a gas
3 turbine that we were feeding near LAX with renewable
4 natural gas. So there are that type of near-term options.
5 But if you think about linear generation, for example,
6 coupled with storage and onsite solar, linear generation
7 technology can run on natural gas but as technology
8 advances on green hydrogen as well. So you can create a
9 pathway to net-zero with these technologies that can start
10 with near-zero emissions to something that is net-zero to
11 even, you know, negative CI if you think about renewable
12 natural gas.

13 So that's kind of how we think about it, that
14 because of the significant objectives ahead of us we really
15 have to think about how at the grid edge we can do more to
16 bring power to customers that has a benefit of expediency
17 but it also has a benefit, too, on the resiliency side of
18 things and T&D investment deferral.

19 So that that's kind of the key point that we
20 wanted to make, that it would be awesome to look at
21 frameworks that would allow developers and private
22 operators to progress that type of project.

23 COMMISSIONER MONAHAN: Does that exist anywhere,
24 you know, in another state? Have you seen in any state
25 that has a process that would encourage that?

1 MR. HOLLAND: Well, you can point to states that
2 have a much heavier deregulated energy system, such as
3 Texas. It's hard to point to date to projects at
4 superscale that run the technologies that I just mentioned.
5 Linear generation is early commercial and we feel very
6 optimistic about that technology. But I'd point out, you
7 know, Texas is a state where there is a lot less regulation
8 on private developers and operators.

9 But we can definitely follow up with a more in-
10 depth assessment of what markets we think are, from our
11 perspective, more conducive to that type of deployment.

12 MR. RECHTSCHAFFEN: Can I jump in with a
13 question, a quick question?

14 Is there any sense in your -- any of the groups
15 you're speaking on behalf of or just in your experience
16 that the information the utilities are requiring needs to
17 be more standardized or easier to understand, or are the
18 expectations that are being imposed on developers clear and
19 comprehensible right now? Is that an additional problem
20 that we need to address?

21 MR. SMITH: I'm hearing it's a little bit of
22 both. And in my conversations, specifically with PG&E, I
23 know they're doing more to kind of front load just like the
24 questionnaire, hey, here's all of the information that
25 we're going to need at the beginning of the process. That

1 would certainly make things work smoother.

2 To the point earlier, though, the earlier you are
3 in the process, sometimes you don't have all of that
4 information. And then so you want to make sure you've got
5 this situation where you can keep that communication going.

6 But just kind of a similar example. In cities
7 and counties, when we get back to this permitting idea, we
8 found that cities that post template permits, examples
9 about what the permit is supposed to look like, those
10 cities see permitting go at about a 70 faster rate than
11 cities that do not share a template on the front end.

12 So those little those little pieces can
13 absolutely make a difference by just kind of giving
14 somebody the, hey, here's how it's supposed to look.
15 Because it's not just project applicants then that are
16 doing it. Coming into the queue you've got your mom and
17 pas and your non-professional folks who would really have
18 no idea because they don't have a developer and an
19 architect and a land use attorney that are also clogging up
20 the system.

21 MR. RECHTSCHAFFEN: Thank you.

22 Did anyone else want to comment?

23 Commissioner Shiroma.

24 COMMISSIONER SHIROMA: Hello Commissioner
25 Emeritus Rechtschaffen. Nice to see you. Thank you for

1 the excellent panel and the moderating facilitation.

2 I'm sorry I wasn't here for the morning sessions.
3 I looked at the slide deck. It looked like some really
4 good and very dense stuff. This stuff is complicated.

5 One of the things in this afternoon's panel is
6 about capacity availability, and that if developers,
7 whether it's housing, heavy-duty electric vehicles,
8 electric vehicles, microgrids, renewable energy, developers
9 and so forth, that if the utilities are able to show the
10 landscape of where, where is there opportunity to develop,
11 that that would be a tremendous thing.

12 Did I understand that correctly from the panel?
13 You can just nod your head if you like. Several of you
14 mentioned capacity.

15 So this is not so much of a question, and the
16 Commissioner Rechtschaffen has done many general rate case.
17 I have had a few and I have thought that, you know, if we
18 more clearly had a five- to seven-year plan, taking us out
19 to 2030, of all of these requirements, aspirations,
20 deadlines and what have you, and had a keen knowledge of
21 the grid capacity that we could more clearly direct the
22 IOUs on -- I'll call it, for lack of a better way to put
23 it, priority capital investment areas and needs, and folded
24 into that would be an equity attribute to it. Because it
25 would be very easy to just focus on heavily urban areas,

1 but people do travel to less urban areas and do business
2 from less urban areas.

3 So anyway, just thinking out loud, folks. I do
4 appreciate the conversation. And if anybody has any
5 anything they want to add, in reaction to my thinking out
6 loud, please feel free. Thank you.

7 MR. RECHTSCHAFFEN: Commissioner Shiroma,
8 actually this morning, and you may have missed this, but at
9 least one utility, SDG&E, was talking just exactly about
10 that, about better, you know, getting ahead of the work in
11 the GRC. Their argument is it's a little too rigid. It
12 doesn't take into account what customers will need to do
13 down the road as opposed to the next couple of years. So
14 that did come up, but I'll let other people on the panel
15 respond if they wanted to.

16 MR. HOLLAND: Just a comment from the perspective
17 of -- and thank you, Commissioner, for those comments --
18 from the perspective of a developer very much focused on
19 the logistics commercial vehicle segment.

20 So to give you a sense of how we identify where
21 we require infrastructure, we look at where the trucks go;
22 right? And to a large extent, because we are a logistics
23 real estate company, we know where that is to some extent.
24 That's our facilities; right? So last-mile delivery
25 vehicles domicile in warehouses, they domicile close to

1 warehouses, they do overnight charging there, boom. So
2 that's kind of a sure shot.

3 As it comes to drayage, for example, which has
4 become an area of focus over the past two years, very much
5 driven by the work that CARB is doing, these are quite well
6 identifiable routes. So as we look at where things need to
7 go, where capacity is required, looking at where -- looking
8 at the travel patterns of trucks in different segments
9 gives a really good indication of where that energy load is
10 going to be required.

11 MR. RECHTSCHAFFEN: Thank you.

12 President Reynolds has rejoined us tonight. I
13 see she has her hand up.

14 PRESIDENT REYNOLDS: Thank you, and thanks for
15 the fantastic panel. Really good to hear from all of you.
16 And I appreciate the different perspectives that you all
17 bring, so super interesting.

18 I have a question for Henrik, just, you know, the
19 work that you're doing, it sounds like, you know, you have
20 a lot to manage, a lot of, you know, complex factors that
21 you're balancing. And I just want to pick your brain a
22 little bit on how much your calculations depend on the
23 state of the grid now, so -- and let me explain what I mean
24 by that.

25 You talked about solutions like linear generators

1 and, you know, some of the electricity generation work that
2 you're going on, you're looking at renewable fuels. If the
3 grid was 100% clean now, would your decisions be different?
4 So what's driving them? Are you looking at ways for
5 redundancies because you want to ensure the power will
6 always be there when you need it? Are the rates too high
7 and you're looking for ways to reduce rates?

8 So if you took that clean energy piece out of the
9 picture and you just assume we've gotten to our goals, the
10 grid's 100% clean, what do you think would you do
11 differently? And I know I'm asking you to speculate a
12 little bit but I'm really interested in your thoughts.

13 MR. HOLLAND: Yeah, I think the grid being 100%
14 clean is one thing. I think near term the challenge that
15 we're really solving for with a higher priority is just
16 available capacity and timelines expediency; right?

17 So to be frank, look, if the grid was 100% green
18 and we could get the capacity where we needed at a cost
19 effective rate then, yeah, we wouldn't be looking as
20 heavily at distributed technology, like linear generation,
21 to be frank; right?

22 So I do think in the reality of a system that is
23 our grid, the expediency and the resiliency kind of go hand
24 in hand. But I want to put that out there that for us for
25 now, we're looking at distributed architectures and kind of

1 systems templates for capacity, resolving capacity
2 availability issues and expediency timelines. We are, as I
3 said, we're committed to net-zero, so anything that we do
4 will either be zero or near-zero short-term with a pathway
5 to net-zero.

6 So that that's kind of how we think about the
7 net-zero kind of phasing near term, like our customers need
8 capacity today. They need it today, they need it 6 months
9 from now, 12 months from now, and we simply don't have, in
10 many of our logistics clusters, and with a cluster, I mean
11 a conglomeration of warehouses, we don't have 36 months to
12 bring charging online; right? We have customers with
13 trucks that are literally sitting in the yard. So that
14 really near term is the most urgent priority that we are
15 solving for.

16 But again, I want to underline that as we think
17 about these decentralized generation options even if they
18 are not completely zero today, they are on a pathway to
19 net-zero.

20 PRESIDENT REYNOLDS: Got it. That's really
21 helpful and completely understand.

22 How much of your -- are you constrained by your
23 sites or would you ever, say, look at the grid first and
24 maybe go to a place where there is sufficient capacity?

25 MR. HOLLAND: Yeah, absolutely. Look, where we

1 deploy charging is an optimization of many things. With
2 front-of-the-meter storage it's a little easier to say,
3 hey, let's look where the capacity is and then we'll site a
4 project there.

5 With vehicles, well, it's kind of like with real
6 estates, it's location, location, location. It's the same
7 with trucks; right? So we want our packages delivered to
8 our homes. That means that these trucks need to be in a
9 certain area from where we live. So location is first of
10 all determined by what the most optimal position is for
11 that fleet. Then we look at available capacity. But, of
12 course, there's an iterative process there.

13 There's an area, it's Hunter's Point, there's a
14 substation that is completely oversubscribed, tons of
15 logistics behind it, and there's just, what we understand
16 today, no way that we're going to get any capacity there in
17 the next five years. And there's a huge amount of
18 logistics being done out of those facilities.

19 So that's where we're looking at, okay, what do
20 we do? Let's do linear generation solar and storage to see
21 if we can get something up and running there and help our
22 customers; right? Because at the one hand, you know, they
23 have mandates, regulation coming in, but on the other hand,
24 you know, there is this problem of not having that capacity
25 available and us not being able to help our customers at

1 those locations.

2 So absolutely, we look at station capacity. But,
3 yeah, we're kind of stuck between a rock and a hard place
4 many times.

5 PRESIDENT REYNOLDS: Yeah. Really interesting.
6 Thank you for those specific examples.

7 MR. RECHTSCHAFFEN: So I understand we can -- we
8 have a few more minutes, Heather, you can correct me if I'm
9 wrong, to extend the panel a little bit.

10 So Commissioner Monahan and Commissioner Gunda
11 have questions.

12 So Commissioner Monahan, please go ahead.

13 And thanks everyone for staying on a few more
14 minutes. We do have a slight bit of slack in the schedule,
15 apparently.

16 COMMISSIONER MONAHAN: Yeah, I'll be fairly fast.

17 I mean, we've talked about solar and storage but
18 not load management. So just curious if load management is
19 part of the strategy and whether there's the right
20 incentives for load management?

21 MR. RECHTSCHAFFEN: Who wants to take that?

22 MR. HOLLAND: I'm happy to.

23 I'm sorry, Francesca. Go ahead.

24 MS. WAHL: No, I was going to say I can jump in a
25 bit.

1 But I think load management definitely has a role
2 to play. And I think part of the challenge with fast
3 charging, right, is the on-demand service that you're
4 providing, and so we're always hesitant to impact the
5 customer experience. That doesn't mean that we can't have
6 applications that provide some level of load management
7 because we're, you know, rarely ever going to be in a
8 situation where every single vehicle is going to be pulling
9 max capacity off of that site, and so there is some
10 opportunity for that.

11 We've always thought more about the AC charging
12 Level 2 space that's a bit more flexible for the load
13 management component versus the fast charging since fast
14 charging is so unique in that way. So I think that's where
15 we see a better application of that as the more flexible
16 load.

17 And I will just add to the discussion around
18 solar and storage. You know, we look at solar and storage
19 for many of our fast charging sites in California and
20 oftentimes, you know, it's more of a locational issue to be
21 able to include that onsite than anything else. But we
22 think about that, you know, from a resilience perspective,
23 as well as other factors that we weigh in. So it's
24 certainly something we'd like to have more of or see more
25 of, but definitely, you know, much harder in an urban

1 setting than, you know, in a highway corridor, more rural
2 setting where we might have the space to be able to add it.

3 But you know, we'll never have, probably, the
4 onsite capacity to serve that entire station. We'll always
5 be grid tied just because of, given the loads we're talking
6 about and, you know, the larger and larger projects that
7 we're starting to build in the 5 to, you know, 10 megawatt
8 range, whatever that looks like.

9 MR. HOLLAND: Building on that, the same goes in
10 the logistics sector, just as I outlined that location for
11 fleets is really important. So it's hard to put the energy
12 system first and then look at location.

13 Similar in load management. So fast charging, if
14 you're doing drayage, these fleet operators need to charge
15 when they need to charge; right? So it's really hard to
16 constrain charging with load management to manage, you
17 know, peaks or anything like that because these are
18 critical operations for those fleets.

19 Some of that load management could be bought with
20 a storage system. But, again, that comes with a with a
21 cost. And oftentimes that's, frankly, just not in the
22 money. Level 2, so overnight charging, those types of
23 applications are much more supportive of load management
24 overall.

25 So it's a really, really important topic, but it

1 will be more challenging for specific use cases than
2 others.

3 MR. RECHTSCHAFFEN: Commissioner Gunda.

4 VICE CHAIR GUNDA: Yeah, thank you.

5 I think you actually answered the question, I
6 mean, that I had; right? And I might want to just extend
7 that just a tiny bit.

8 In terms of, as you think about the value
9 proposition, Francesca and Hendrik, of deploying this
10 additional capacity, right, so you're thinking through, I
11 need additional capacity, you know, I have, you know, my
12 business case that will be supported by this additional
13 capacity, two points there.

14 One is how do you place the premium; right? Like
15 from a value perspective, I mean, how high would you go,
16 right, from -- in your calculations?

17 And two, how are you partnering today with, you
18 know, geographically located other businesses, you know, to
19 potentially co-optimize the opportunity of onsite
20 generation to think through this?

21 So before I before I hand it off to you guys for
22 answering I do want to note on record that Commissioner
23 emeritus Cliff Rechtschaffen translates to CEC
24 Rechtschaffen. Just wanted to close that.

25 I'll hand it off to you guys.

1 MR. HOLLAND: I'm happy to jump in. Thank you
2 for the question, Commissioner.

3 I think the capacity premium, frankly, I mean
4 we're in a commercial business, right, so it will depend on
5 the customer application and the overall total cost of
6 ownership of an electrified solution which includes not
7 just the grid cost and energy cost but also the cost of the
8 vehicle. So it's important to look at total cost of
9 ownership of the full EV stack as we look as Californians
10 at like how this is going to work; right?

11 So the promise of electric vehicles is that there
12 is a lower energy cost, lower maintenance cost, but
13 definitely right now a higher upfront vehicle acquisition
14 cost. Now if that energy cost starts to move more, starts
15 to move north, it's going to eat into the TCO of the
16 overall EV stack. So that's something that customers are,
17 I'd say, starting to get a better sense of because this is
18 new. But I think that is something that we need to be
19 really careful with.

20 So we look at the cost of grid versus distributed
21 cost. And we're actually seeing that, in some cases,
22 installing a temporary generator or longer-term, even a
23 linear generator, that's their longer-term, is oftentimes
24 even more cost effective than a grid connection. And
25 that's okay. Like I think as long as the environment, the

1 policy environment allows private operators to develop
2 that, I think that could be a great, great solution. And
3 we should figure out then how we build those price signals
4 into the system.

5 So I hope that answered your question a little
6 bit. And then there was a second part, but to be frank, I
7 kind of forgot what the second part was.

8 MS. WAHL: I was going to also ask what the
9 second part was but I was.

10 But I was just going to jump in and say, you
11 know, we have explored opportunities to take on more of the
12 costs, right, especially to get this this moving in the
13 near term. We don't think that's maybe a scalable long-
14 term solution but definitely something that, you know,
15 looking at that premium of being willing to be pretty risk
16 tolerant in the near term in order to get projects moving.

17 VICE CHAIR GUNDA: So the second part was just
18 kind of thinking about given how big your businesses are
19 and you have the opportunity to anchor these onsite
20 generations, you know, are there opportunities for you to
21 collaborate with geographically-located smaller entities,
22 you know, to really optimize?

23 MS. WAHL: Yeah. One thing I will say is we do
24 sometimes co-locate with other charging developers. That
25 is a strategy that we have taken. And the, also, if we can

1 go into a new commercial development and leverage some of
2 California's great EV-ready building codes and work with
3 other partners to be able to come together, whether it's a
4 new Target and some other larger property owner, we might
5 do that as well.

6 So there's definitely been opportunities to try
7 to work with other developers.

8 MR. RECHTSCHAFFEN: Alright, I think we're at
9 time. Thank you all for a very interesting and lively
10 panel.

11 And I'll turn it back to you, Heather.

12 MR. WENDER: Maybe I'll jump in instead of
13 Heather and just offer my sincere thanks. Thanks to Cliff
14 for bringing the moderation game up a level.

15 I'm sure the attendees are delighted to have some
16 high-caliber moderation for our next panel, as well. I
17 want to introduce Ethan Elkind. He is Director of the
18 Climate Program at UC Berkeley School of Law's Center for
19 Law Energy and the Environment. He has graciously agreed
20 to moderate this last panel.

21 Ethan, take it away.

22 MR. ELKIND: Great. Thank you, Ben and Heather
23 and Commissioners. Great to be with all of you. Hopefully
24 not a big drop off from having Commissioner Rechtschaffen
25 moderate the panel but I'm really pleased to be here

1 moderating this next panel, also very focused on solutions.
2 And this one is called Technologies, Processes and
3 Regulatory Strategies to Improve Distribution System
4 Connections. We've got a great lineup of speakers here to
5 kind of bring our panel portion of the IEPR home here.

6 I'm just going to make a couple points as
7 moderator. I wanted to highlight some of the work that
8 we've done at Berkeley Law School Center for Law Energy and
9 the Environment.

10 So just touching on some of the issues that have
11 already been raised, one, I want to talk about the
12 opportunities for improving data access. I know we're
13 talking a lot about interconnection. But if we can improve
14 access to data on the distribution grid, that has the
15 opportunity to really open up a lot of efficiencies and
16 improve a lot of these processes, I think, that we've been
17 highlighting in the discussion today.

18 And I want to flag a report that we put out at
19 CLEE in conjunction with the Emmett Institute down at UCLA
20 Law School called Data Access for a Decarbonized Grid. We
21 put that out in February of 2021. It has a whole bunch of
22 solutions. I'm going to put it in the chat here. I don't
23 seem to have access to the chat for all the attendees, so
24 it's going to go to the hosts and panelists. And hopefully
25 someone who is more technically proficient than I am can

1 share it with all the participants for the IEPR today.

2 But just in a nutshell, that report goes through
3 some of the barriers to accessing data, which includes
4 privacy and security rules, utility and regulatory
5 structures, and a lack of capacity. And some of our
6 recommendations include what we're going to talk about in
7 this next panel, so we talk about adopting performance-
8 based regulation of electric utilities to provide financial
9 incentives for high-quality efficient data generation and
10 management.

11 We also talk about the need for the Energy
12 Commission and the Public Utilities Commission to create a
13 definitive guide to the legal and regulatory framework
14 governing data privacy and security. We talk about re-
15 examining the 15-15 Rule at the Public Utilities Commission
16 for customer data aggregation which sets the numerical
17 limits on customer cohorts and consider the use of
18 differential privacy methods instead.

19 We also talk about the need to modernize utility
20 IT systems to adapt to these new technological and customer
21 needs as we're putting more emphasis on our on distributed
22 resources.

23 So anyways, feel free to take a look at that
24 report. It actually grew out of a stakeholder convening
25 that included now former Commissioner Rechtschaffen and

1 current Energy Commissioner McAllister, so just wanted to
2 commend that for folks.

3 And then finally, just on the dispute resolution
4 process, we talked -- we just heard about some of the
5 legislative efforts to try to address the delays on
6 interconnection.

7 And we at CLEE, working with the California
8 Institute -- for CIEE, so sorry, California Institute for
9 Energy and Environment at UC Berkeley, have been working
10 with the Public Utilities Commission on the AB 2861 process
11 which is a law passed in 2016 to authorize the CPUC to
12 establish an expedited dispute resolution process for these
13 grid interconnection disputes under Rule 21. And that
14 involves the creation of a panel, essentially like an
15 arbitration-type panel.

16 And I think that process has actually -- it took
17 a while to get started but I think that already seems to
18 have paid some dividends in terms of motivating some
19 solutions to these interconnection disputes for those
20 thornier just interconnection disputes that we heard from
21 the utility presentations earlier today.

22 So I think there may be some more room for more
23 alternative dispute resolution processes to deal with these
24 interconnection disputes and I just wanted to raise that,
25 as well, for folks working on solutions to this. So

1 anyways, I hope this moderator prerogative with some
2 comments on improving energy data access and dispute
3 resolution is useful.

4 And with that, I want to introduce our three
5 speakers today and I'll introduce them in order of
6 appearance and then hand it over to them.

7 So first we have Grace Relf, who is the Chief of
8 Policy and Research at the Hawaii Public Utilities
9 Commission, where she's going to be talking about
10 performance-based rate making. Prior to her current
11 position, she worked on utility policy at the American
12 Council for an Energy Efficient Economy.

13 And I will introduce the other two panelists in
14 turn, so I'm actually just going to go ahead and hand it
15 over to Grace now for her remarks and then I'll introduce
16 the next two speakers.

17 So go ahead, Grace.

18 MS. RELF: Thanks Ethan. And thanks. Yeah,
19 that's really interesting. I look forward to reading your
20 report that you've mentioned here, a lot of similarities
21 between the work that we're doing here in Hawaii too. I
22 think we just established interconnection dispute
23 resolution process largely modeled off of what you all are
24 doing in California. So, yeah, interested in looking
25 through that.

1 Yeah, thank you all for having me today. My name
2 is Grace Relf. I'm the Chief of Policy and Research at the
3 Hawaii Public Utilities Commission and I'm excited to share
4 with you some of the work that we're doing here to improve
5 interconnection and use of distributed energy resources.
6 And, yeah, I look forward to learning from my fellow
7 panelists as well.

8 We can go to the next slide.

9 So just in general, I always like to start with a
10 little bit of context. In Hawaii, we are out in the middle
11 of the Pacific, so I think sometimes it's helpful just to
12 remind folks of our context here.

13 Then I'm going to really dig into our
14 performance-based regulation, our PBR framework. I'll talk
15 a little bit about the structure just to give some context
16 about, you know, where we're coming from our guiding
17 principles. And then I'll talk about a specific incentive
18 that we have for interconnection of DERs. And I wanted to
19 also talk a little bit about where we're going with our
20 electrification of transportation data collection and
21 performance management under this framework as well. And
22 then I'll just end with a couple of key takeaways.

23 Go to the next slide.

24 So as I mentioned, a lot of similarities between
25 California and Hawaii, so none of this I assume will be too

1 unfamiliar for you all. But as an island grid system, we
2 really have to focus on resilience. And, you know, I
3 provide this overview too to talk a little bit about why
4 we're focusing specifically on distributed energy
5 resources. And first, resilience is key here. We cannot
6 import any electricity from, you know, neighboring islands,
7 or especially from the mainland. Everything we have is
8 generated here. And, you know, a lot of our resources rely
9 on imported fossil fuels, which we're trying to get off of.

10 So in that context, you know, distributed
11 resources are a way to make good use of our land and to
12 help with that resilience.

13 Additionally, DERs can also help with the
14 flexibility component of managing a grid that really does
15 have high renewables right now.

16 And then finally, I wanted to mention that in the
17 past couple of years we have been dealt a number of
18 challenges with our grid-scale renewable projects being
19 delayed because of the COVID-19 pandemic, you know, supply
20 chain issues I'm sure that everybody is facing, and so we
21 have turned directly to distributed energy resources, DERs,
22 to help face that or, yeah, address the capacity
23 replacement challenges.

24 Our fossil fuel fleet here is really old. A
25 number of our fossil fuel generating units are, you know,

1 three times my age, so we are looking to get those replaced
2 and convert over to a renewable energy fleet. And DERs are
3 a major way to help with that.

4 You can go to the next slide.

5 And as you know, we have strong state policy here
6 that really helps drive, you know, our objectives and
7 getting everybody on the same page as to what we're trying
8 to achieve. So we have a hundred percent carbon neutrality
9 goal by 2045. We have a strong renewable portfolio
10 standard and energy efficiency portfolio standard. And
11 really our driving motivation here is to address climate
12 change.

13 I think it's important to know, we have a really
14 high penetration of rooftop solar already; 37 percent of
15 single-family homes in the Hawaiian Electric territories
16 have rooftop solar, and 91 percent of those are now being
17 installed with battery storage. So that's a huge fleet of
18 resources at our disposal that we really should be making
19 good use of.

20 And I just thought this was an interesting
21 statistic, you know, almost a 25 percent or more than a 25
22 increase in passenger EVs over the last year. Exciting.

23 Next slide.

24 So when we embarked on our performance-based
25 regulation journey we sought to align on what our guiding

1 principles and desired outcomes were. And this was almost
2 a two-year stakeholder process to align on our priority
3 outcomes.

4 And I provide this here just to highlight that
5 our guiding principles really do focus on distributed
6 energy resources. One of those in sort of an emergent
7 category, which we define as maybe not within the
8 traditional utility expectations, is interconnection
9 experience. And we also have DER offset effectiveness, so
10 making use of that big fleet of resources on the system.
11 And in terms of advancing societal outcomes, too, we see
12 that electrification of transportation is a good way to
13 reduce greenhouse gas emissions and reduce our reliance on
14 fossil fuels as well.

15 So you can go to the next slide.

16 Just briefly, our framework here, it consists of
17 revenue adjustment mechanisms, so this is the major bulk of
18 the utilities revenue. It's governed under a five-year
19 plan and it's basically an allowance that they can operate
20 with that's adjusted annually for inflation and a return to
21 customers.

22 The second are performance mechanisms. These are
23 really intended to promote those guiding principles that I
24 had on the last slide via rewards or penalties that the
25 utility can earn and via tracking mechanisms or reporting

1 on our desired outcomes.

2 We also have a pilot process which is intended to
3 promote expedited review of innovative pilot projects. And
4 then there are safeguards, as well, to make sure that
5 nothing's going too far off the rails.

6 And I'm going to focus in on these performance
7 mechanisms because I think that's where we've seen a lot of
8 success in terms of DER interconnection progress.

9 Let's move to the next slide.

10 For example, I just pulled out some of our
11 performance incentive mechanisms that are related to
12 interconnection. The first is the renewable portfolio
13 standard A, which is RPSA, accelerated achievement of the
14 renewable portfolio standard, and this provides a reward
15 for the utility achieving our RPS goals more quickly than
16 what is in the statute. And they can also be penalized if
17 they do not meet it.

18 Another one is our grid services PIM. This is
19 intended to promote the utility acquisition of grid
20 services from DERs, so that is capacity reduction, capacity
21 building during the day when there's solar, and fast
22 frequency response as well, and this can be up to \$1.5
23 million in rewards per year.

24 We also have a PIM that promotes interconnection
25 approval for DERs, so improving the timeliness of

1 interconnecting DER systems.

2 And then finally, we do have an incentive
3 mechanism that promotes timely and cost-effective review of
4 grid scale projects.

5 But I'm going to focus in on the DER
6 interconnection PIM for now.

7 So if you go to the next slide?

8 This is the general structure of the performance
9 incentive mechanism, the PIM. And we're really measuring
10 here the average number of days within HECO's control to
11 energize DERs. And you can see that it's basically a
12 reduced number of days over each year, leading to kind of
13 nationally exceptional performance at the end of this five-
14 year period.

15 You can go to the next slide.

16 And you probably were wondering how we aligned on
17 those targets. And really, it was just a very
18 comprehensive review of the utility's recent
19 interconnection data, so we looked at -- you know, we
20 sliced and diced that data every which way to come up with
21 some reasonable targets that also led to exceptional
22 performance at the end of the performance period.

23 Go to the next one.

24 And the utility has done quite well on this PIM.
25 They have reduced their time to interconnect DERs to, you

1 know, for Maui Electric, ten days, for Hawaii Island almost
2 not quite 12 days on average, and on Oahu where we see a
3 much higher number of applications, you know, 16 or 17 days
4 as well. So that's a huge, huge improvement; from Maui we
5 were seeing like up to two months at some points.

6 You can go to the next slide.

7 I also just briefly wanted to mention that we are
8 tracking a number of metrics related to EVs and
9 electrification of transportation in order to increase how
10 these resources, as they are growing, will be integrated
11 with the grid. So we're tracking fleet electrification, EV
12 energy and demand by time period, EV counts, and then ride
13 share fueling hubs, so trying to promote electrification of
14 transportation for those who may not own their own
15 vehicles.

16 We can go to the next slide.

17 Just really briefly, this is showing the metric
18 for fleet electrification. So this is Hawaiian Electric's
19 fleet of EVs. It's supposed to increase every year and
20 their percentage of miles driven is supposed to increase
21 every year as well. Maybe not necessarily doing super well
22 on that one.

23 Next one.

24 And then this is the EV load in different time
25 periods. So you can see over the last year the off-peak

1 charging has really shot up. So I think that's to do with
2 -- just wrapping up here. I see you that that's my time.

3 So I think I just have one more slide here of key
4 takeaways, anyway, which is just to say that, you know, I
5 think there needs to be pushing from all sides.

6 Performance-based regulation, incentives, policy, all of
7 that can really help to promote interconnection of DERs.
8 And, yeah, continuous learning and improvement is
9 important.

10 So thanks so much. Happy to take questions.

11 MR. ELKIND: Alright, great. Thank you, Grace.
12 We're going to just hold off on questions until we hear
13 from the other panelists but thank you so much. It's
14 always wonderful to hear from the Hawaii experience. I
15 think in many ways it's a postcard from the future, at
16 least here in California, with many of the issues that
17 you've had to deal with. And glad to hear that our dispute
18 resolution process might have inspired your work. Always
19 happy to do a site visit to Hawaii if you need more
20 information on that program. So as I said we'll hold off
21 on questions until the end.

22 Let me now introduce our next speaker, Dr. Karen
23 Wayland, who's the Chief Executive Officer of GridWise
24 Alliance. She previously worked at the U.S. Department of
25 Energy during the Obama administration, has extensive

1 experience in Washington D.C., as well, working on energy
2 and climate legislation for speaker Pelosi and Senator
3 Reid.

4 And I'm going to hand the floor over to you, Dr.
5 Wayland.

6 DR. WAYLAND: Thank you, Ethan. I think I was
7 going to go last. I know, I think, they're working on
8 moving the slides around, unless you want to --

9 MR. ELKIND: Okay. Yeah, let's. Yeah, I
10 apologize. I knew there was going to be some scheduling
11 issues there but I didn't realize that. So let me stick to
12 the original plan then and apologize if I just created a
13 fire drill for our tech folks. So, alright, well, you
14 heard Karen's introduction.

15 Now I'm going to introduce our second speaker,
16 supposed to be third but second, Matthew Tisdale, who is
17 Executive Director of Gridworks. He served as a senior
18 energy advisor to the California Public Utilities
19 Commission for many years prior to his current role with
20 Gridworks. And he's going to be helping us talk more about
21 solutions.

22 So Matt, over to you.

23 MR. TISDALE: Great. Thanks Ethan. Are you
24 hearing me okay?

25 MR. ELKIND: Yes, can hear you great.

1 MR. TISDALE: Excellent. Well, good afternoon
2 everyone. Thank you for the invitation to join the
3 conversation. Grace thank you for warming up the panel and
4 compliments on a nice presentation. I will transition into
5 my remarks with an anecdote.

6 Grace's former boss, the former chair of the
7 Hawaii PUC, Jay Griffin, is a member of our team at
8 Gridworks. And he has been contributing to our work in
9 support of California, as well as other places. And I was
10 asking Jay recently about this PBR case and the progress
11 that Grace was just reporting on and how it was achieved,
12 really. And he told me this really wonderful story about
13 the very first meeting that they had with utilities and
14 stakeholders who were expressing an interest and stepping
15 into the conversation around PBR.

16 And he said, "What we did was we formed a circle.
17 And, I as the leader of the process, very clearly and
18 directly explained that it was an absolute priority to
19 accomplish the changes and that the Commission was going to
20 be consistent and have sustained energy towards
21 accomplishing what they were setting out to do, to align
22 the interest of the utility with interconnection
23 improvements."

24 And he imparted on me as a -- and I impart on you
25 the importance of that clear signal that he provided and

1 the impact it had on the conversation.

2 I see a number of wonderful Commissioners and
3 leaders here from the California environment expressing
4 that today, and so I thank you for doing that. And now
5 let's follow through and get to it.

6 I'm going to play a bit of a sort of cleanup
7 hitter role here. I've been happy to participate and
8 monitor most of the workshop today. And I just want to
9 share some of the high-level takeaways that I picked up on,
10 some of the primary solutions that I heard recommended, and
11 some suggestions on how to triage around those. I hope
12 that will be an aid to you, Commissioners and staff, as you
13 try to digest and move forward from such a rich workshop.

14 First is that we heard that interconnection and
15 interconnection delays are an equity issue.
16 Electrification and distributed energy resources can
17 provide a pathway out of poverty, can provide advantages to
18 communities that have been disproportionately impacted by
19 our infrastructure in the past. And to the extent that
20 there are delays or hindrances to that interconnection or
21 to that energization, then we're delaying that relief.

22 And I think that is even moreover emphasized when
23 we think about this as a housing issue. Delays and
24 energizing of new housing and the effects that that can
25 have on our housing markets, it is an equity issue and it

1 should be treated as one. So that's the first thing I
2 heard.

3 The second thing I heard is sort of in the
4 regulatory camp. You know, the CPUC and the utilities have
5 an incredible amount of regulatory infrastructure in place
6 to understand how utilities perform distribution planning,
7 how they look at alternatives, whether they be traditional
8 alternatives or distributed alternatives, how they think
9 about electrification in that context.

10 And I'll just tell you from my personal
11 experience of helping build that regulatory infrastructure
12 over ten years, and also working with other states who are
13 trying to build it, California's regulatory infrastructure
14 in this respect is remarkable in its weight, heft, and
15 might. Yet still, even with all of that in place, it does
16 seem that the current systems of distribution planning are
17 stressed and they're being pushed to their limit by the
18 electrification goals and needs that we have.

19 Third observation is around workforce. I heard a
20 number of the utilities share that they are ready to grow
21 their workforce to strengthen and speed interconnection and
22 energization. And I have heard other smart friends out and
23 about who are working closely with the utilities that that
24 is welcome, that would be a welcome turn of event, that the
25 utilities simply have a need, an imperative to pick up

1 their workforce and be able to process more applications
2 and deal with more of these challenges. Now that's a lot
3 easier said than done but I was really pleased to hear the
4 recognition of that challenge and also the utilities
5 interest and commitment to working with it.

6 So those were sort of three themes I heard on
7 equity, regulation, and workforce.

8 Turning now to some of the solutions to those
9 themes that we heard that I think are worth mentioning.

10 First is, you know, treating the challenge of
11 interconnection day delays with the urgency it deserves as
12 an equity issue. And I really appreciated the opening
13 presentation from the gentleman, Mr. Walker, from GRID
14 Alternatives and his suggestion about what are the barriers
15 to a needs-based prioritization for interconnection and
16 energization. I'm really curious about what those barriers
17 are and what could be done about them and I hope that
18 that's something we can dig deeper into as we move forward.

19 A second solution that we heard was from CPUC
20 staff about applying lessons from the interconnection
21 process to the energization process. Working groups have
22 been a very effective tool on the interconnection side. My
23 team has been involved for years in supporting utilities
24 and interconnecting parties to work through all kinds of
25 nuts and bolts about improving these processes. And those

1 groups have been very effective. They have ironed out a
2 whole bunch of things that would not be ironed out in the
3 traditional regulatory process.

4 So I want to endorse the idea that one of the
5 lessons learned from the interconnection side that could be
6 applied to energization is working groups.

7 Also the integration capacity analysis and the
8 idea of modeling and forecasting ahead to anticipate where
9 capacity is and where capacity isn't has been another
10 effective tool that's made a difference on DER
11 interconnection and can be used on the energization side.

12 A third solution that we heard, and this goes
13 back into the workforce theme, is really digging in to what
14 the utility workforce is able to do in this respect, sort
15 of what are the person hours that are being spent on
16 interconnection? What is the expertise of the folks who
17 are in those positions? What are their competing
18 obligations? What might they be working on instead?

19 For example, we've had a lot of these folks, and
20 some of the best ones, spending most of their time on
21 wildfire risk mitigation. Okay, that's also a priority.
22 But if we look into how the time is being spent and where
23 the expertise is being directed and check, is that aligned
24 with the state's priorities, is it aligned with the
25 priorities of the customers of the utility, I think we

1 would probably learn a lot.

2 So the last thing I'll do is just try to help
3 maybe with a couple of triaging suggestions. And those
4 are, first of all, just remember that electrification is
5 only beneficial if we have a decarbonized power supply. So
6 if energization is outpacing interconnection, we have a
7 problem. In terms of priorities, having that clean energy
8 available is critical as an antecedent to using it in the
9 transportation fleet.

10 The second thing is, you know, give us work to do
11 here. And by us, I don't mean necessarily Gridworks. We
12 already have more work than we know what to do with. But
13 give us, the community, the work that you need help with.
14 You're going to need folks who are assembled here today,
15 the great ideas, the energy and expertise they have, to do
16 more than participate in this workshop. You're going to
17 need them to roll up their sleeves in working group
18 settings, in task force, in settlement negotiations, and to
19 hammer out solutions to these problems. So you all at the
20 agencies don't have to solve all these problems, even
21 though you're really good at solving a lot of problems and
22 you get a lot of people. Hand some of those out and put
23 parties to work on them.

24 The last thing I'll say is, you know, in guiding
25 that, be as consistent as possible with what the priorities

1 are and how much time you have available for folks to work
2 on those priorities. Consistency will go a long way in
3 allowing companies and folks like myself to invest time and
4 energy and be available to help you solve those problems.

5 That's it for me. Thanks for the opportunity to
6 contribute.

7 MR. ELKIND: Alright. Great. Thank you, Matt.
8 Appreciate your remarks, especially to broaden out this
9 issue to thinking about workforce and equity, really
10 important considerations, and I look forward to hearing
11 more from you in the Q&A.

12 And with that, let me go back to Karen, who is
13 going to be second and now third. Well, originally, she
14 was going to be third and then second, but anyways, it
15 doesn't matter, but we're happy that you can join us.

16 So Karen, over to you.

17 DR. WAYLAND: Yeah. Thank you. I'm actually on
18 the East Coast, and so I had a board meeting right in the
19 middle of this panel, so I appreciate your moving me around
20 and creating confusion for everybody, so appreciate it.

21 So I want to talk about the kinds of grid
22 investments that we see necessary to support clean energy
23 policy goals. And you've heard a lot about that all day,
24 but I am going to focus more on the kind of technology and
25 other kind of investments that have to be made to,

1 specifically, to meet -- oh, sorry about that. I double-
2 clicked on my video and you couldn't see me. So I want to
3 talk a little bit about the kinds of investments that have
4 to be made to meet clean energy goals.

5 So if you could go to the next slide, please?

6 GridWise Alliance is a member organization of
7 utilities, grid equipment manufacturers, consulting
8 companies, and we have three of the five RTOs as members,
9 as well, including CAISO. So we work on a whole range of
10 issues around grid modernization, both at the federal and
11 the state level.

12 So next slide, please.

13 One of the new initiatives that we started about
14 a year and a half ago was the technology portfolio
15 initiative. And what we're trying to do here is to take
16 this very complex engineered system and boil it down into
17 one-pagers and into kind of -- to provide some insights to
18 policymakers into what the functions of technologies are
19 that provide services to the grid. And we looked at five
20 functional areas in grid services: integrated planning,
21 system visibility, real-time operation, consumer and energy
22 services, and emerging grid architecture. And these are
23 the organizing principles that we use to look at the
24 investments that have to be made in order for the grid to
25 serve as a platform for policy goals.

1 Next slide, please.

2 We have one paper that was introducing the
3 technology portfolio initiative. And you can find that at
4 our gridwise.org website.

5 But about a year and a half ago, right after we
6 did that technology portfolio paper, we were asked by some
7 senior officials at the Department of Energy, right after
8 the infrastructure bill passed, to look at what were the
9 kind of near-term investments that would need to be made to
10 help set the stage for accelerated transportation
11 electrification?

12 And so we did a whole series of stakeholder
13 engagement workshops, both with our members and with state
14 and other organizations, and came up with this paper, The
15 Near-Term Grid Investments for Integrating Electric Vehicle
16 Charging Infrastructure. And we looked at the kinds of
17 technologies.

18 And I will say that when we say grid investments,
19 we're not just talking about technology. We're also
20 talking about kind of human interaction investments that
21 are going to have to be made in order to really make sure
22 that the grid is ready for more electric vehicles. And we
23 know that we're just talking at this point about no-regrets
24 investments that allow us to meet increased load, perhaps
25 time of use charging, but that are setting the stage for

1 vehicle-to-grid integration, which we hope in the next five
2 to ten years will become much more of the norm with how the
3 grid interacts with electric vehicles.

4 So next slide, please.

5 So I'm just going to go through a few of the
6 technologies that we know in our report -- or investments,
7 I shouldn't say. They're not just technologies.

8 The first is we look at what we have to have on
9 the grid to enhance system visibility. And system
10 visibility is really about allowing grid operators to see
11 power flows on the grid, both in the short term for grid
12 operations, but longer term for planning efforts. And this
13 is things like where is electricity coming in and out of
14 the system? Where is it being used? Where is it being
15 generated? How it's flowing both across the distribution
16 and the transmission systems.

17 And we need that increased visibility so that we
18 -- and it's got to be across the grid, but right up to the
19 grid edge and hopefully on the other side of the meter as
20 well. And we need that with enhanced communication and
21 data sharing systems so that we can manage the grid at
22 granularities that are going to be required with these, you
23 know, intermittent loads that are going to be caused by
24 electric vehicles. We think that this extended real-time
25 situational awareness is going to support EV charging

1 infrastructure, but it's really going to be much broader
2 across the system in terms of enhancing reliability and
3 power quality.

4 So a few of the technologies that are going to be
5 critical for that, I'll start with advanced meter
6 infrastructure, which is, you know, as you all know, it's
7 the meter. It's at that interface between the customer and
8 the grid. And it allows the grid operator to understand
9 the customer usage and also to send back to the customer,
10 potentially, time-of-use signals.

11 But the new advanced meters are really unique. I
12 know that California got a significant amount of money
13 during their Recovery Act in 2009 to invest in AMI across
14 the state. But what we're seeing now is that AMI, you
15 know, the old AMI did produce data, sometimes in 15-minute
16 intervals. But right now the new AMI can provide real-time
17 data, and also provide another service that's going to be
18 very essential to integrating DERs onto the grid, which is
19 voltage monitoring and control. So what we're seeing is
20 that the new AMI are a solution for last-mile power
21 quality.

22 And I think it's important to note that you may
23 have seen rate cases and investment requests from utilities
24 for AMI in the, you know, recent past, but the new
25 technologies are going to allow for a much different

1 interaction between the customer and the grid.

2 The next technology that I want to mention is
3 broadband infrastructure. And utilities have a whole
4 legacy of communication networks across their systems built
5 on top of each other. You know, they're communicating with
6 their equipment, they're communicating with their line
7 workers, they're communicating with their customers. But
8 truly for an integrated grid, we're going to need to
9 replace all of that infrastructure with broadband. And
10 that is internal to the utility, whether it's wireless or
11 fiber, but it has the potential, actually, for the
12 utilities to provide that broadband if they increase
13 capacity to their customers as well for increased high-
14 speed internet access.

15 So that's going to be a really critical thing for
16 true vehicle-to-grid integration going forward, and for a
17 whole host of other functions that we want out of the grid.

18 And then finally, another, and I shouldn't say
19 finally but another key technology that will increase
20 system visibility is dynamic line rating. And I talked
21 about this at the bulk power workshop last week, but it
22 also is critical on the distribution system as well. And
23 dynamic line rating allows grid operators to understand in
24 real-time grid conditions, so what's wind, speed,
25 temperature, other critical variables that will allow them

1 to avoid heat-related equipment failure and thus allow them
2 to increase the overall capacity of the grid and to
3 decrease costs to the consumer.

4 The next slide, please.

5 The next category of technologies affect real-
6 time operation. And you know, both at the transmission and
7 distribution level, the grid needs technologies that can
8 automatically act on system data and deliver the increased
9 load that we expect with increasing EV adoption. So, you
10 know, we know that EVs will be a source of two-way power
11 flow on the grid. And we need to have upgrades that happen
12 at the substation level and throughout the system to
13 prepare the grid for that reverse power flow.

14 And so there are a number of technologies. I
15 talked about some of them with visibility. The ones I'm
16 going to talk about now are really about grid operation.
17 And I have two minutes left. So I'm going to tell you that
18 the report here explains all of these things in detail.

19 I will note that all of these technologies -- and
20 maybe you can go to the next slide about consumer and
21 energy services and engagement -- and I'll say that here's
22 where we start to get into investments that are not just
23 technology in nature, technological in nature, they're
24 really about investments in how a utility, how a state
25 looks at the interactions that have to happen in order to

1 integrate distributed energy resources on the distribution
2 system.

3 We need investments in communication and
4 coordination. That could be systems. It could be
5 increased ways of providing apps and other things to
6 integrate.

7 But it also is as much about human power. And we
8 heard people talk about workforce. There is a real need to
9 look at the processes that take place and how you make
10 those processes more effective and more coordinated across
11 governing units and service territories.

12 Next slide, please.

13 And that goes for integrated planning, as well,
14 which is, you know, early and frequent coordination from
15 the customer, from third-party interests, from across the
16 utilities, the state and federal areas, across agencies,
17 both at the state level and the federal level.

18 When you think about electric vehicle charging
19 infrastructure and the federal investments that are going
20 to be happening, some money is flowing to the departments
21 of transportation. Some money is flowing to the state
22 energy offices. Some money is flowing to other agencies.
23 And how you coordinate across all of those agencies, both
24 at the federal, state, local level, is going to be really
25 critical and will require investments in people as well as

1 potentially hardware and software. And you look at hosting
2 capacity studies, forecasting, modeling, all of those
3 things require investments.

4 So next slide.

5 So my point is, you know, we are focused in on
6 technologies for one specific thing, transportation
7 electrification. But the reality is that we need to make
8 broad investments across the distribution system in order
9 to create the environment to meet our policy goals.

10 The Tennessee Valley Authority has been working
11 with 153 distribution utilities and has set out kind of a
12 plan for pulling them up through the grid modernization
13 process through a host of different technologies. And I'm
14 happy to answer questions in the future. I just want to
15 note that these are expensive projects that are not about
16 gold plating anymore. We really are talking about the need
17 to have the grid be the platform for meeting the policy
18 goals that the state has.

19 So with that, I will finish up and look forward
20 to questions.

21 MR. ELKIND: Great. Thank you so much, Karen.

22 And I want to take a few minutes here to ask some
23 questions of the three speakers. And then I'll hand it
24 over to see if the Commissioners want to ask any questions
25 and we can go from there.

1 But, Grace, I'll start with you. So obviously
2 we've talked a bunch about performance-based rate making
3 and you went into some detail about what you've done in
4 Hawaii. I'm just curious, were there any lessons learned
5 in terms of the implementation of performance-based rate
6 making in your experience that you would want to share?
7 And, you know, we think about the pros, but are there
8 potential cons that we should be aware of, you know, in
9 California as we potentially contemplate moving in this
10 direction as well? Just basically a question around
11 lessons learned that you might want to share.

12 MS. RELF: Sure. Yeah, it's a great question.

13 Yeah, there are so many lessons we've learned,
14 but I think from my perspective, a really important one is
15 starting to track data early and often. You know, I think
16 when we were trying to set up our performance incentive
17 mechanisms, it was really challenging to get the right data
18 and have any sort of consistent time series to look at
19 performance over time. And that's really important when
20 you're setting a threshold or a benchmark for performance.

21 So even if you're not totally sure about, you
22 know, which metrics might be best for a performance
23 incentive mechanism going forward or, you know, really
24 where your interests might lie in the near future, just
25 starting to track that data can really be a good starting

1 place.

2 And then, you know, another one is just that I
3 think you're never going to get it perfect the right
4 time -- or the first time. And so building in
5 opportunities to revisit your mechanisms and have
6 continuous learning built into the system, I think, is
7 really critical. Some of our PIMs, I don't think, have
8 worked very well. And so we're looking at kind of
9 revisiting the structure and learning from the experiences
10 that we've had so far.

11 So those are my initial thoughts, but I'm sure
12 there's a million more.

13 MR. ELKIND: Oh, that's great. Thank you so
14 much, Grace. I appreciate that additional insight.

15 And Matthew, I wanted to go to you. You talked
16 about working groups as a potential solution coming out of
17 the interconnection process and moving towards that model
18 for energization and even capacity analysis. And I'm just
19 curious if you could go into a little more detail on that,
20 how you -- who you recommend is included in those working
21 groups, and kind of how that process could potentially get
22 started here, if you had any additional details or thoughts
23 on that?

24 MR. TISDALE: Sure, Ethan. Thank you for the
25 question.

1 And I'll maybe just take a moment to maybe invite
2 Grace, or I can add on if Grace wants me to, that it was a
3 working group process that led to the PBR framework that is
4 being very successful in speeding up interconnection in
5 Hawaii.

6 And so what I'm expressing is that a lot of these
7 problems are collaborative in nature. They take folks
8 getting together and kind of hammering out the details
9 together. On the interconnection side, it was first a
10 settlement agreement between utilities and, largely,
11 distributed generation advocates. That was back in the
12 mid-2000s, around 2005, facilitated at that time by now
13 Executive Director Rachel Peterson from the CPUC. And, you
14 know, it takes time with folks working together in a
15 collaborative environment to get to the bottom of some of
16 these things.

17 On top of that settlement, as one of the
18 presentations we saw in the morning showed, we had five
19 different working groups that worked through a series of
20 issues on interconnection for Rule 21 reform, things like
21 what should the timelines be? That's probably a question
22 we've heard today for energization. What should the study
23 process be? If it's not what we're using now, how could it
24 be different? What is a utility engineer facing as a
25 challenge when they look at that study? What do they need

1 to know about the resource that they're going to be
2 interconnecting with? They can't know but for spending
3 time with the person who's going to own and operate that
4 resource.

5 I've just given you a couple flavors, but these
6 are the type of issues that are very difficult to work out
7 in a more traditional state formal regulatory process.
8 Even when we use workshops like this one, which are good,
9 we're really just scratching the surface on the nuts and
10 bolts.

11 And I'll just take one more second to emphasize
12 what is one of the most useful things that comes out of
13 those working group process is understanding and trust
14 between the utility engineers and their management about
15 what we're trying to do and the folks who are trying to get
16 the folks in the utility to work differently. And that
17 trust and that social capital that gets built between
18 people is really actually what speeds things up in the long
19 run.

20 MR. ELKIND: Great. Thank you, Matt, for that
21 additional detail. And nice tie-in to the Hawaii
22 experience, as well, so a good kind of proof of concept
23 there.

24 Karen, you talked about a number of interesting
25 potential pathways and opportunities, vehicle grid

1 integration, system visibility, enhancing system
2 visibility. It's just sort of two of those. And I'm
3 wondering if you could cite any programs, maybe
4 demonstration programs or jurisdictions, that you think we
5 could really draw from, you know, that might be a learning
6 experience that could potentially scale here in California
7 if it's not based here or, you know, expanding it out if it
8 is based here in California?

9 DR. WAYLAND: Well, I mean, I think that there
10 are a number of examples in California and along the West
11 Coast, Hawaii, Portland General Electric in, you know,
12 Portland, on the East Coast, National Grid and others. And
13 they're all -- I mean, this is coming at every utility.

14 And we put together what's called a Grid
15 Modernization Index Readiness Framework which really looks
16 at how utilities can think about being ready for everything
17 that's coming at them. Everybody is trying new things.
18 Co-ops are trying really experimental programs, doing great
19 things with customer engagement in particular, I think.

20 So I'm happy to go back and look at some
21 interesting examples and provide them for you. But I think
22 it would be hard to hone in on just one because so many
23 utilities are responding to different state policy goals,
24 they're responding to customer demands that may differ
25 across the country, so it's hard to pinpoint any particular

1 utility that's doing, you know, interesting things.

2 I like to look at what the Tennessee Valley
3 Authority is doing. They have 153 distribution utilities
4 and they're trying to bring all of them up to some level of
5 grid modernization that allows for kind of a no-regrets
6 investment that can deal with all of the different things
7 that are coming at a distribution utility, both from the
8 changes in the large-scale utility generation and the
9 things that are happening on the customer level.

10 MR. ELKIND: Great. Thank you, Karen, for that.
11 Yeah, I appreciate the TVA reference in your presentation
12 as well. And it sounds like there's an online resource
13 that could be very useful that you just referenced as well.

14 Well, I'll ask one more question of all the
15 panelists, and then we'll see if the Commissioners have any
16 questions as well. And this one would just be just to
17 really name what might be your top one or two kind of near
18 term steps that you would like to see, you know, coming out
19 of this process or related processes that you think has the
20 chance to really make the biggest difference in trying to
21 improve the distribution grid and improve especially the
22 clean energy resources that we need to scale up.

23 So I will throw that out now to whoever wants to
24 raise their hand who's got a burning near-term step.

25 I see Karen. Go ahead.

1 DR. WAYLAND: I have a burning near-term step,
2 which is that to really think about equity and to look at
3 all of the utilities across the state of California, the
4 small ones, the utilities serving tribal areas, the big
5 utilities and think about, you know, all the customers in
6 those service footprints and the access to the grid that
7 they have.

8 And I really worry about, you know, focusing in
9 on big population areas and seeing how, you know, all of
10 the modern, the DERs and then having the grid investments
11 that support those DERs happen in certain places and they
12 may not happen in other places. And I think that we are at
13 a real transition point where we can focus in on equity and
14 make sure that investments are happening and raising all
15 boats, or we can end up in a place where we have, you know,
16 systems that don't have even basics data, and we are
17 talking about, you know, broadband communication level for
18 other places.

19 So equity for me in terms of access to a modern
20 grid is really critical.

21 MR. ELKIND: Yeah, I appreciate that, and echoing
22 some of what Matthew brought up, as well, in his comments.

23 Matthew, Grace, any burning near term steps you
24 want to mention?

25 So go ahead, Matthew.

1 MR. TISDALE: I'll follow Grace.

2 MS. RELF: I guess I just want to say that I
3 think it's important to ensure that the utilities'
4 incentives are aligned with your outcomes. And, you know,
5 we've seen some real progress on interconnection times on
6 DERs because it was a very specific focus of our PBR
7 framework. The utility has significantly streamlined that
8 process because there were financial rewards attached to
9 that. So that would be one step I think you all could
10 take.

11 And then just, you know, taking advantage of this
12 pool of federal money that's on the table, I think is
13 critical as well.

14 MR. ELKIND: Great.

15 Matt?

16 MR. TISDALE: I would only just add, keep doing
17 what you're doing at the start of this workshop, provide a
18 clear, consistent signal that this is a priority. When you
19 ask questions about these things, it makes us all work on
20 it. We all call one another, say, what should I say?
21 Well, what do you think? What can I learn from you? Keep
22 asking those questions. Keep sending the signal that
23 solving this problem is a priority.

24 You know, we all have a million competing things
25 on our attention, a million parts of this clean energy

1 problem that we're trying to solve. If this is a priority,
2 keep saying so clearly and consistently, and it will get
3 solved.

4 MR. ELKIND: Alright, well, on that note, let me
5 see if Commissioners have any questions.

6 I see Commissioner Gunda, so you have your hand
7 up, so please take it away.

8 VICE CHAIR GUNDA: Thank you, Ethan. Thank you
9 so much for moderating that. That's a wonderful panel.

10 Grace, nice to see you since the NARUC work last
11 year in Hawaii. Thank you so much.

12 Just at a high level, and I'm going to just go to
13 Matt, but you really kind of hit on an important note that
14 I keep struggling, and I tried to ask the previous panel as
15 well. And I agree with your supposition that workshops are
16 not really the place to solve a lot of these things that
17 we're trying to do, you know, really want to be in a space
18 where we're rolling up our sleeves and working together to
19 solve. So it's a two-part ask of you.

20 One is -- and if others want to comment on it --
21 one, how do you make those working groups really
22 representative, that by the time that working group yields
23 a solution, there is broad trust in that solution being
24 viable; right? So that's kind of one.

25 You know, so that kind of leads into the second

1 point of, you know, the agencies have certain statutory
2 requirements of what it means to build a record; right?
3 And how do you synchronize to optimize the time, right,
4 when we are leaning on, you know, kind of the working
5 groups that are done outside the state regulatory
6 community? How do you really use that to accelerate the
7 process; right?

8 So I think I just wanted to frame that question
9 because ultimately, for me, it keeps coming down to this,
10 the fourth largest economy, home to some of the smartest
11 brains in the world, and we have some ambitious goals, and
12 we seem to be moving slower than we want to. And it seems
13 to be coming from, you know, in lack of better words, a
14 lack of agreement on the pathways; right? And every
15 solution seems to be a good solution, but for us to come to
16 a viable solution, it requires understanding of trade-offs,
17 understanding of internalizing the consciousness
18 of -- you know, I think you put it well, Matt, in your
19 topic, if energization is happening ahead of
20 interconnection, what's the point; right?

21 So how do we really advance public trust in the
22 process while creating this consensus that we can quickly
23 move on some low-hanging fruit? What's the framework?

24 MR. TISDALE: Thanks for the question,
25 Commissioner. I'd be happy to speak to that. And I know

1 that Grace has good experience with this on the Hawaii
2 side, as well, so I hope she'll feel motivated to add to
3 it.

4 First part of the question, how do you make one
5 of these processes, through which folks get to collaborate
6 in a working group environment, representative? Two notes
7 here, maybe three.

8 One is that you can't just call the working group
9 together and expect it to start work in a month. It will
10 need time to get ready for that, especially people who work
11 for organizations who are trying to advance social equity,
12 who are not as well resourced as, say, for example, an
13 investor-owned utility or, say, for example, a large
14 automobile manufacturer. These organizations need time to
15 rearrange their human and financial resources so that they
16 can be there and present. Three months is a minimum. Six
17 months is ideal.

18 Second is that if we're asking for folks to bring
19 their expertise, to contribute that expertise into a
20 conversation like this, they should be financially
21 compensated for that. If I'm an attorney representing a
22 utility or if I'm staff at a solar company, I'm compensated
23 for that. If I'm a member of the public, it's not as clear
24 how I get compensated for that; right?

25 I think we have an ongoing and good conversation

1 about how intervener compensation works in this context. I
2 think we have ongoing and good conversations about funds
3 that have been allocated through recent legislation to
4 enable these representatives to be at the table and to be
5 financially rewarded for their participation and for their
6 expertise. Amen. Hallelujah. Let's get it done.

7 The last thing, and this is a little bit biased,
8 is I think that independent facilitation is incredibly
9 important. We usually, in the past, have just asked our
10 utility friends to host the conversation. Our utility
11 friends are good at a lot of things. They are trusted in
12 many things, but independent facilitation goes a long way
13 towards increasing trust in the process.

14 The second part of your question, and I'm taking
15 too much time, so I'll be very brief, is how do you get all
16 that on the record and how do you create transparency
17 around it? There's lots of mechanisms here. You can task
18 your facilitator with filing reports on the record. You
19 can bring it into the record that way. You can record
20 conversations so that there's plenty of transparency. This
21 is a problem that can be solved through the way you
22 structure the conversation and you report out from it. And
23 we've solved it lots of ways and lots of times.

24 MR. ELKIND: Great.

25 I know Commissioner Monahan has a question, but I

1 want to see if Grace or Karen want to add to anything that
2 Matt just said?

3 MS. RELF: Very briefly.

4 I think in terms of building trust, education at
5 the beginning of the process was really critical to our PBR
6 working group. I think having everybody feel like, oh,
7 we're starting from a level playing field of understanding
8 and knowledge was really critical.

9 And, yeah, I would just echo Matthew. I think
10 independent facilitation is really helpful. You know, our
11 RMI colleagues, and Gridworks in the past, too, has helped
12 us design really thoughtful process for our working groups
13 that have enabled an informal kind of half of our process
14 that led to a more robust and better informed formal part
15 of the proceeding.

16 MR. ELKIND: Great. Alright.

17 Well, lastly, we'll go to Commissioner Monahan
18 for a question.

19 COMMISSIONER MONAHAN: Well, I thought that was
20 interesting, Ethan, because you too are a master
21 facilitator. We have a lot of master facilitators in this
22 group and you run a great process as well.

23 And Matt, I thought you'd be interested to hear
24 that one of the ideas that's come up is reinvigorating the
25 VTI Working Group, that that was -- yeah, way back. There

1 you go.

2 So I wanted to ask Grace a question about PBR.
3 So, you know, you quite focused on DERs as the metric. And
4 we in California, of course, are really trying to expedite
5 transportation electrification, building electrification.
6 Just kind of curious how you landed on DER on that metric
7 and whether -- I mean, one of the challenges is you pick
8 your favorite child, right, and then your favorite child
9 flourishes and all your other children are sad and they
10 don't flourish. And, you know, that's a challenge that we
11 face. We love all of our children and we want to get to
12 100 percent clean energy futures, so just sort of how you
13 made those choices.

14 And then one last and then I'm done is around,
15 you know, we also have to make sure it's a safe,
16 affordable, reliable grid and how you balance those other
17 priorities.

18 There's a lot in there. Sorry.

19 MS. RELF: Critical questions to be asking.

20 So the PBR framework or the PBR process kicked
21 off with two years of working group meetings to align on
22 the objectives and outcomes that we wanted to see coming
23 out of this PBR framework. So that was really critical. I
24 know that sounds like a lot of time to invest in sort of
25 just maybe high-level conversations. But by the time we

1 got to the end of that process, we were able to say, you
2 know, the utility is functioning really well in these areas
3 and the utility is not functioning well in these areas
4 where we have decided that that's a priority outcome.

5 So from there, we had sort of a clear picture of,
6 you know, a couple of key areas where we were all aligned
7 that this is a clear objective and the existing utility
8 regulation is not necessarily achieving what we want it to
9 achieve in that area. So once we were sort of aligned on
10 there, then the parties came to us with different proposals
11 for mechanisms to meet those objectives. And, you know, we
12 were able to align on a number of them. I think DERs
13 really rose to the top as somewhere where the utility was
14 not necessarily performing to like a national standard or,
15 you know, where their performance needed some additional
16 support.

17 Some of the ones that the parties felt could use
18 additional incentives, ultimately the Commission ruled
19 not -- we did not adopt performance incentive mechanisms in
20 those areas for one reason or the other. One, you know,
21 sometimes we felt like there wasn't sufficient data to
22 support a well-designed mechanism at this point and so we
23 started that data collection process or, you know, because
24 it was already being addressed by another incentive
25 mechanism, that kind of thing.

1 So I can just give an example that there was a
2 lot of enthusiasm for an incentive mechanism for
3 electrification of transportation, but we just really
4 didn't feel like we had the right data to be able to set
5 performance thresholds and tie a reward to that at this
6 point.

7 So that's really where we established metrics to
8 start reporting on that to inform future mechanisms. You
9 know, the choices are hard though. It's not easy.

10 MR. ELKIND: Great. Thank you, Grace, and
11 Commissioner Monahan, for the question.

12 Any other questions from the Commissioners?

13 Well, I think we might just be at time here. I
14 know we got a little late start on the panel. So assuming
15 we have another minute or two, I'll just see if any of the
16 speakers have any concluding thoughts or any final
17 sentiments they want to share advice and I'll give you the
18 floor?

19 MR. TISDALE: It's been a really long, but
20 excellent workshop. Thank you for pulling it together.
21 And I wish you all a lot of luck in digesting the
22 information that was shared here today. It's a lot. We
23 got a lot to work with.

24 MR. ELKIND: And Karen, did you want to add
25 something?

1 DR. WAYLAND: No. I was just going to reiterate,
2 you have, you are leading the way, and so these workshops
3 are -- well, they've been really interesting. Thank you
4 for being able to participate.

5 MR. ELKIND: Great. Alright. Well, thank you
6 all of the speakers, and I'll hand it back over to our
7 organizers. Thank you all.

8 MS. RELF: Thank you.

9 MS. RAITT: Commissioner, this is Heather Raitt
10 and I think we're ready to move on to public comment if
11 that is good for you, if that works?

12 COMMISSIONER MONAHAN: Yeah, that sounds great.

13 MS. RAITT: Okay. Okay, so we'll go to public
14 comment.

15 And I see we have some hands up on Zoom. And so
16 if you did want to make comments, we limit them to three
17 minutes per person and one person per organization, please.
18 And you can press that raise hand function in Zoom to let
19 us know you'd like to make comments. And if you're on the
20 phone, just press star nine. And so when I call on you,
21 we'll open up the line from our end. And if you could
22 please state and spell your name for the record and your
23 affiliation if any.

24 And so we'll go ahead and get started with Tom
25 Kabat.

1 Go ahead, Tom.

2 MR. KABAT: Thank you very much. And thank you
3 for the very informative discussion today.

4 It appears that so much of the distribution
5 planning is really a matter of being sure that things can
6 be right sized and built in time. And so that dilemma on
7 getting things right sized, you know, not over building too
8 early before the load arrives and not being too late and
9 delaying people makes me see the value of the thing we call
10 panel optimization when out at the real grid edge, out at
11 the device side, in terms of trying to pick the most
12 efficient and right sized devices to meet our end use
13 needs, like the most efficient heat pumps, and then right
14 sizing them so that they don't overburden the distribution
15 grid and they still get our needs met.

16 The same thing with sizing the EV chargers at the
17 right level. We see examples in some towns where they have
18 a lot of wealth and they install a lot of EV chargers in
19 their homes. And they kind of fall into a form of range
20 anxiety where the electrician sells them the oversized 50
21 amp circuit EV charger and all their EVs on the same block
22 turn on at the same time each night because they're all the
23 same model brand of EV and they overload the transformers.
24 And it only takes a couple of houses on the block getting
25 those 50 amp circuits that then there's no more pull top

1 transformer space for the rest of the houses to electrify
2 their cars.

3 So focusing in on right sized devices and
4 designing the utility programs and incentive programs to
5 pick right sized, very efficient, well controlled devices
6 so that we can meet the needs of everyone electrifying in
7 an orderly manner is probably the way to go.

8 And so I encourage the Commission to keep moving
9 forward with SB 68 implementation that has the Commission
10 developing the guidance and information to help people
11 electrify more efficiently so they get all their needs met
12 and leave space for their neighbors to electrify and leave
13 workforce space too. Because electrifying efficiently
14 takes fewer electricians and does less panel changeouts and
15 upsizing and service wire connections and pull top
16 replacements by the overstressed utility staff leaving them
17 time to get -- to help everyone efficiently electrify.

18 So one of the little things we use in the power
19 group is to electrify simply so others may simply
20 electrify. And we're trying to do a study of trying to
21 quantify what are the upstream benefits of using that
22 efficient electrification technique? And to the extent
23 utilities could join into that effort it would be very
24 helpful.

25 Thanks so much for kicking this off.

1 MS. RAITT: Thank you Tom.

2 Next is Claire Broome. Again, if you could spell
3 your name and your affiliation, if any, for the record?

4 Go ahead, Claire.

5 MS. BROOME: Good afternoon. Claire Broome,
6 C-L-A-I-R-E B-R-O-O-M-E, representing 350 Bay Area an
7 environmental and ratepayer organization.

8 So, first, thank you so much for a really
9 stimulating and fascinating series of presentations.

10 I wanted to hold up two, maybe three if I have
11 the time, conclusions that I took away from the day.

12 First, I totally second Ms. Relf's urgency in
13 aligning incentives and penalties with meaningful outcomes.
14 And I think we've heard a lot on interconnection delays.
15 Some people said, oh, the utilities need more employees.
16 Others said, no, no, if we utilize third-party electricians
17 that would help. I suggest that if, in fact, there are
18 penalties and incentives for decreasing interconnection
19 delays, utilities will figure that out.

20 The second point that really grabbed me was Mr.
21 Marks from SMUD when he said that their study of load
22 flexibility and managed charging resulted in savings of
23 half the cost over the projected 20 years. Half the cost,
24 that's pretty impressive, and I don't know exactly how that
25 study was done.

1 But I suggest that as a ratepayer, and hearing
2 about the wonderful opportunities, keeping load flexibility
3 front and center as a feasible and inexpensive way to get
4 there is really important. Very specifically, I'm really
5 heartened to see the PUC and the CEC together and paying
6 attention to these issues. And I think it's particularly
7 important that they're collaborating on the demand
8 flexibility efforts to get time differentiated dynamic
9 pricing.

10 I just think it is absolutely crucial that that
11 process optimizes the price signals that are sent by
12 volumetric rates. Please don't lock up that value in fixed
13 charges which penalize conservation, energy efficiency, and
14 minimize the opportunities to realize savings from load
15 shifting and load management.

16 And then the third point, I loved that Ms. Relf
17 and Mr. Elkind pointed out the essential nature of improved
18 data. I've spent a lot of time trying to figure out what's
19 happening with resources on the distribution grid in front
20 of the meter. We need better data.

21 Thank you so much.

22 MS. RAITT: Thank you.

23 So next we will go to Michael Bergey.

24 Michael, if you could spell your name and give
25 your affiliation? Go ahead now.

1 MR. BERGEY: Sorry. Okay. Can you hear me now?

2 MS. RAITT: Yes.

3 MR. BERGEY: Thank you for the opportunity. My
4 name is Michael Bergey. I am President of the Distributed
5 Wind Energy Association, and I'm also CEO of Bergey Wind
6 Power Company, which is the largest manufacturer of small
7 wind turbines in the U.S.

8 I've come today to offer a suggestion related to
9 interconnection that I think would be a way to bring more
10 and more diverse clean energy onto the grid quicker, and
11 that would be to temporarily relax the inverter listing
12 requirements for small wind turbines up to 30 kW,
13 specifically allowing NRTL certification to UL 1741 instead
14 of the Rule 21's current requirement for UL 1741 SB for a
15 period of, say, two years, and ideally also eliminating the
16 unapplicable efficiency test requirement which was set up
17 specifically for photovoltaic inverters.

18 So what's the problem? Well, first of all, solar
19 inverters are not technically compatible with small wind
20 turbines, so the great number of currently listed inverters
21 is no help to get small wind turbines onto the grid.

22 Second, the development of smart inverter
23 functionality and the NRTL certification complexity and
24 costs are a real challenge, particularly for small
25 businesses such as mine and some of our other companies in

1 our industry.

2 And third, there are certified American-made
3 small wind turbines available, and there is significant
4 California demand for those turbines, but installations are
5 on hold pending inverter certification to SB. That
6 certification may not be available in our industry until
7 2024.

8 We think temporarily relaxing interconnection
9 requirements represents an opportunity for several reasons.

10 First, small wind turbine technology has
11 progressed. Under support from the U.S. Department of
12 Energy, LCOE or payback periods have been reduced by 50
13 percent. And in windier locations in California, they
14 represent a least cost renewable energy technology at small
15 scale.

16 Second, with the IRA legislation, there are now
17 robust incentives available from both the federal
18 government and California's SGIP Program and California
19 homeowners and businesses are missing out on them.

20 Third, recent NREL market studies have shown
21 considerable potential for behind-the-meter wind in
22 California, including in areas designated as disadvantaged.

23 And fourth and finally, in important small wind
24 areas, the resource peaks in the evening during the summer,
25 helping with ramp rates.

1 So in summary, we believe that relaxing the
2 inverter certification requirements temporarily for small
3 wind turbines, perhaps via resolution or editing the OSEGT
4 listing pathway, would benefit the clean energy goals of
5 the state and increase consumer choice without sacrificing
6 safety or grid power quality. More clean energy quicker.

7 Thank you.

8 MS. RAITT: Thank you very much.

9 Next is Ali Detrio, and go ahead. You should be
10 able to unmute on your end.

11 MS. DETRIO: Hello. Can everyone hear me?

12 MS. RAITT: Yes.

13 MS. DETRIO: Great. Hi, Ali Detrio with the
14 Microgrid Resources Coalition. I don't know if you need me
15 to spell my name for the record, but I'll do it at the end.
16 Just want to make a couple comments.

17 First of all, thank you so much to the Energy
18 Commission for the robust discussion today. What a great
19 slate of panelists, great ideas. And the Microgrid
20 Resources Coalition wants to emphasize, we really
21 appreciate all of your work in all of these efforts and
22 interconnection is a big challenge.

23 One, we really support the idea of implementing
24 performance-based regulation for interconnection and would
25 love to explore more of the PIM ideas for grid services and

1 other benefits raised by Raquel at Berkeley and I think
2 discussed amongst many other panelists.

3 We also support any and all efforts to increase
4 utility interconnection resourcing so we get more manpower
5 to process applications in a timely manner and be able to
6 bring in more third-party entities that are qualified as
7 discussed to help with interconnection review and
8 processing so we really expedite the interconnection
9 process. I think we can throw a lot of resources and
10 manpower at this. Yes, it requires coordination, but this
11 is one of the biggest barriers we're experiencing here when
12 it comes to deploying new clean energy capacity on the
13 grid.

14 A few other things that I wanted to also note is
15 that, you know, strategic decentralization should be a
16 strategy that California undertakes as it looks to
17 modernize its grid for the future. Even if the grid were
18 100 percent green already today, there were some comments
19 that alluded to that we wouldn't consider things like
20 onsite generation or linear generators if we didn't have
21 this decarbonization challenge. So a few things on that
22 note.

23 One, the grid isn't 100 percent clean today and
24 so we do need to clean it up.

25 But two, the centralized utility model is the

1 cause of many of our wildfires and outages. Transmission
2 is very expensive and is the main cause of ratepayer cost
3 increases according to CPUC's own Affordability Report.
4 And transmission and centralized infrastructure is very
5 vulnerable in the face of climate change, extreme weather,
6 et cetera.

7 So decentralization is a strategy for climate
8 adaptation, cost reduction, smoothing the pathway to
9 electrification in an affordable manner without undue
10 strain on the grid. And for reliability, we can provide
11 the capacity and deploy it strategically in the areas where
12 it's needed if we have decentralized resources like DERs.

13 And then the final note on the comments and ideas
14 about using onsite generation to power new customer loads
15 while they wait for interconnection, I think Commissioner
16 Gunda made a comment about exploring onsite generation and
17 sharing power with neighboring customers. This is
18 technically possible and we would love to be able to do
19 this. There are policy barriers preventing this. And if
20 they were solved, we could unlock tremendous energy
21 optimization, grid benefits, reliability, et cetera, and
22 reduce costs for ratepayers.

23 And the final thing, I know I'm at time, is that
24 if we don't figure out how to solve these barriers and
25 strive to create price signals and incentives for customers

1 to stay connected to the grid long term and participate in
2 this clean energy transition, we're really going to see
3 more problems down the line. So these policy barriers are
4 really important to solve to meet all of our --

5 MS. RAITT: Thank you. We need to move on to the
6 next person.

7 Diego Quevedo, sorry, I mispronounced that, go
8 ahead, state your name for the record and unmute, please.

9 MR. QUEVEDO: Can you hear me?

10 MS. RAITT: Yes. Thank you.

11 MR. QUEVEDO: Excellent. Thank you. Yes, my
12 name is Diego Quevedo, D-I-E-G-O, last name is
13 Q-U-E-V-E-D-O. I'm the utilities lead at Daimler Truck
14 North America. We are the largest commercial vehicle OEM
15 in North America, with about 40 percent market share. We
16 have vehicles from walk-in vans all the way up to your
17 class eight semi tractors on the road. Last year we sold
18 about 187,000 vehicles in North America.

19 I really commend the CEC for organizing this
20 workshop. It has been very insightful. A lot of common
21 topics which I agree with, especially performance-based
22 framework for utilities to incentivize them to energize
23 customer depots, specifically in time. So I really
24 appreciate all the comments.

25 And I would just like to highlight for the record

1 the importance of timing, specifically for California, as
2 it relates to the Advanced Clean Truck Rule and the
3 Advanced Clean Fleet Rule, which come into effect just next
4 year. By our own estimates, just starting next year,
5 California is going to need an additional about 120
6 megawatts of installed capacity, new installed capacity on
7 the distribution grid to support the ACT Rule.

8 And I just want to highlight that especially the
9 medium- and heavy-duty vehicle segment, starting from Class
10 6 vehicles and up, those vehicles cannot rely on AC
11 charging; right? They cannot plug into a standard outlet
12 like a passenger vehicle because it does not make economic
13 sense to charge a vehicle at one to three kilowatts, so
14 they need dedicated DC charging.

15 So every vehicle that is sold in the commercial
16 segment has to have additional capacity installed on the
17 grid to support that. Now some depots and fleets will be
18 able to add the capacity if they have the head room. But
19 the larger fleets, you know, they're going to be requesting
20 two to five megawatts, and these depots are co-located,
21 especially in the Inland Empire, and so those megawatts of
22 additional capacity add up pretty quick.

23 So I would just like to emphasize the timing of
24 all the activities that have to happen so that they line up
25 with state regulations that have already passed.

1 And I would just like to add one more thing to
2 the record, and that is that Daimler Truck is very
3 supportive of this transition to the tune that we've
4 started a joint venture to build out a public charging
5 network for the commercial vehicle segment specifically, so
6 that there's charging sites that can physically fit these
7 commercial vehicles because all public charging today
8 really just supports light-duty passenger cars.

9 Thank you.

10 MS. RAITT: Thank you very much.

11 Next we will go to Bill Boyce.

12 Bill, you can go ahead and begin.

13 MR. BOYCE: Thank you. Bill Boyce, B-I-L-L
14 B-O-Y-C-E. I serve as the Secretariat for the West Coast
15 Clean Transit Corridor, which is a collaboration amongst
16 the major west coast utilities to support planning for
17 large-scale medium- and heavy-duty and light-duty goods
18 movement on the major freight and transportation corridors
19 on the west coast.

20 I have two quick points that I kind of wanted to
21 hammer home.

22 It was noted today in a lot of the speakers that
23 there was a need for capacity in the major transportation
24 corridors, and some of the new, you know, large-scale
25 medium- and heavy-duty charging plazas are going to be

1 rather large in size. Francesca Wahl from Tesla had a
2 great chart that showed that those could get as high as 19,
3 20, and in some of our studies, upwards of 30 megawatts of
4 capacity needed at a single site. That's as much as a
5 small city.

6 So kind of combining that need with what was
7 talked about last week with regards to the zonal
8 transmission planning, I'm wondering if that type of
9 electrification on the transportation corridors was taken
10 into account in the transportation or the transmission
11 planning map that was shown last week? And it would be
12 great if there's some sort of layering on those zonal maps
13 to maybe show how some of these applications are being
14 looked at with regards to especially transportation at that
15 level.

16 A second point I wanted to bring up was workforce
17 development. That got brought up a lot today, got brought
18 up a lot last week. There's going to be a lot of need for
19 power engineers across the board. That's a four- or five-
20 year commitment to get people through college on that.
21 Erica from San Diego, I believe, brought up the fact that
22 utility designers even at utility level are a two-year
23 training commitment before they're really competent, really
24 cranking out all the design work that everybody talked
25 about is in need.

1 So I'm wondering, it hasn't been brought up, but
2 I'm wondering if there's an educational strategy that needs
3 to be considered when we try to actualize all these energy
4 plans? And, you know, getting these people trained up,
5 getting the colleges aligned, how are we going to get all
6 these new engineers to support all the work? You know,
7 it's going to take changes in those systems, too, to crank
8 out the workforce that's going to be required to get all
9 this done.

10 So that concludes my comments. Thank you.

11 MS. RAITT: Thank you.

12 Next is Cole Jermyn. If you could just give your
13 name and affiliation? And you should be able to unmute and
14 go. Thanks.

15 MR. JERMYN: Yes. Can you hear me?

16 MS. RAITT: Yes.

17 MR. JERMYN: Great. Thank you. My name is Cole
18 Jermaine, C-O-L-E J-E-R-M-Y-N, and I'm an attorney with the
19 Environmental Defense Fund. My team focuses on the utility
20 policies needed to accelerate truck and bus
21 electrification, including more efficient interconnection
22 of charging infrastructure and co-located distributed
23 energy resources.

24 We, as a team, we're already hearing from fleets
25 in California that they're seeing long interconnection

1 delays as they try to electrify, and that's adding
2 significant costs and headaches to their transition to EVs.
3 So it's encouraging to hear that interconnection issues are
4 a major focus of today's workshop.

5 I wanted to speak up today to make a point that I
6 think echoes many of the speakers from today's panels, and
7 that is that we'll need a diverse set of solutions to solve
8 interconnection issues, including both in the near term and
9 the long term.

10 In the near term, it's critical that any interim
11 solutions meant to fill gaps until the grid is ready are
12 themselves zero emissions and contribute to improved air
13 quality in the communities where fleets are located. It's
14 also important that those communities have a voice in the
15 solutions that are being deployed near them, as those
16 people are the ones most impacted by delays or ineffective
17 interconnection of electrifying load, because that just
18 means that fossil fuels continue to be burned for longer
19 and in higher quantities nearby.

20 With respect to long-term solutions, it's
21 important that the utilities, the CEC, the CPUC, and other
22 stakeholders recognize the lead time that's necessary to
23 serve the significant load that's expected from widespread
24 truck and bus electrification in addition to other end use
25 electrification. They must begin forecasting and

1 identifying the timing and location of that load now. And
2 hopefully the IEPR process contributes to that moving
3 forward.

4 And the utilities must begin planning and
5 completing the system upgrade work expeditiously to
6 minimize delays for fleets trying to interconnect so we see
7 those interconnection timelines shortened from the
8 currently long timelines we're seeing today.

9 I appreciate the opportunity to speak today and
10 heard a lot of encouraging things on the workshops, and
11 we're looking forward to engaging moving forward.

12 Thank you.

13 MS. RAITT: Thank you for that.

14 So I'll just take another moment to ask, if you
15 are wanting to make comments on the Zoom platform, press
16 the raise-hand icon. And if you're on the phone, press
17 star nine to let us know that you'd like to make comments.
18 I'm not seeing any more raised hands. Well, thank you.

19 Oh, here we have one more from Vincent
20 Wiraatmadja.

21 MR. WIRAATMADJA: Yeah.

22 MS. RAITT: Go ahead.

23 MR. WIRAATMADJA: No worries. Vincent
24 Wiraatmadja. Last name is W-I-R-A-A-T-M, as in Mary,
25 -A-D-J-A, Government Affairs Manager with Schneider

1 Electric.

2 I just wanted to also express my thanks to the
3 Commissioners and staff for an excellent workshop, as well
4 as all the speakers. I thought it was highly informative.

5 On behalf of Schneider, I just wanted to express
6 support, as well, for performance-based regulation. We
7 think that that is a great way to modernize the grid and
8 enable the transition to a truly interconnected future with
9 our EVs as well as our DERs.

10 I also just wanted to uplift the notion that as
11 we work to deploy IIJA and IRA funds, we should make sure
12 that they are being put into assets that are digitized so
13 that we actually build a grid for the future rather than
14 old school hardware that is predominantly analog. And that
15 will also tie into the performance-based regulation
16 because, ultimately, if you can see it through your digital
17 tools, you can then measure it and then you can then base
18 metrics and performance on it.

19 So those are my comments. Thank you so much for
20 the opportunity to speak up.

21 MS. RAITT: Thank you.

22 Next we have Kathy.

23 Please go ahead, Kathy.

24 MR. MORGAN: Actually, my name is Wayne Morgan.

25 MS. RAITT: Oh. Okay.

1 MR. MORGAN: M-O-R-G-A-N. I didn't take the time
2 to change my name. And I'm with a number of environmental
3 groups, including the Climate Reality Project and the
4 League of Women Voters.

5 I was just wondering, has consideration been done
6 with regards to maybe supplying some of these EV recharge
7 stations with DC transmission lines? I understand that
8 transformers are in short supply now and have long lead
9 times. I'm just wondering if that has been considered to
10 interconnect some of these stations with these DC lines
11 instead of AC?

12 Thank you.

13 MS. RAITT: Thank you. Appreciate that.

14 Next is Lorenzo Kristov. Unmute.

15 MR. KRISTOV: Unmute. Yes.

16 MS. RAITT: There you go.

17 MR. KRISTOV: Yes. Thanks. I wanted to just
18 pick up on a theme that was mentioned by one of the
19 previous public commenters that I fear has not really been
20 given enough attention, which is the notion that if we,
21 through policy and regulation, don't create an environment
22 on distribution that is really rewarding to the
23 capabilities of distributed resources, makes it simpler for
24 them to interconnect, accounts for them correctly in
25 planning, and essentially recognizes their importance to

1 contribute to decarbonization and resilience and equity,
2 but instead let the barriers continue and place financial
3 barriers to distributed resources or don't allow them to
4 get rewards for performing to their maximum.

5 Then what we'll see, and I think we heard this in
6 especially the panel after lunch, is that parties that can
7 afford the investment will take matters into their own
8 hands, either for power quality reasons or for time delays
9 or because they have higher environmental goals or because
10 of what their customers need. We'll see commercial and
11 industrial customers, residential, more affluent
12 residential customers, adopting distributed resources to
13 meet their need, but if they don't have a context of a
14 network in which they can participate, then those DERs will
15 just be used for the private benefits that they provide to
16 those customers rather than the benefits they can give to
17 the grid as a whole and to the greater societal goals of
18 decarbonization and energy justice.

19 And we could see then the march of technologies,
20 distributed technologies, actually worsening the equity
21 situation in California simply because the barriers are
22 ones that don't keep out the parties with deep pockets,
23 really, who see the driving needs but do keep out the
24 people that are more challenged financially to adopt them.

25 So I think this concern about grid defection and

1 parties taking matters into their own hands when the
2 barriers continue needs to be taken very seriously and
3 built into how we design a distribution network environment
4 that really embraces the growth of distributed resources
5 and enables them to perform, to capture, and be compensated
6 for the true value that they can provide.

7 Thank you. This is a really excellent workshop
8 today. I really appreciate the efforts that everyone put
9 into it. Thank you.

10 MS. RAITT: Thank you.

11 Next is Daniel Drazan.

12 Go ahead. You need to unmute on your line.

13 MR. DRAZAN: Yes. Hi, this is Daniel Drazen with
14 Enchanted Rock. I'm an energy advisor. I just want to
15 make a few comments.

16 First, I want to thank the Commission for an
17 awesome, fantastic, very informative panel discussion and
18 workshop here today.

19 I also just wanted to pick up on a few things,
20 the first one being the suggestion by Commissioner Gunda
21 that we consider or that the Commissioner and others
22 consider onsite backup generation. As was perhaps stated
23 by some other parties earlier, this is a very important
24 technology and resource that can provide very important
25 resiliency, especially in the context of fleet support and

1 resiliency. As we move toward trying to electrify fleets,
2 the ever important program to address health concerns and
3 energy efficiency and the like, there's always the concern
4 though that, you know, as was noted that, there may be grid
5 resiliency issues, power grid outages, and that we all want
6 our packages delivered on time, nevertheless.

7 So I would just recommend the Commission further
8 explore the recommendation that it's heard here today to
9 try to find ways where DERs can provide that grid
10 resiliency for EV fleets in that context.

11 I just might add that while it was noted by one
12 of the panels earlier about the role that linear technology
13 provides in supporting and providing backup generation and
14 resiliency, linear technology is clearly not the only
15 technology that is out there. There are many other proven
16 technologies that involve clean burning, reciprocating
17 engines involving RNG and the like. So I just wanted to
18 highlight for the Commission, that technologies other than
19 linear exists as well.

20 But yeah, a fantastic workshop and want to thank
21 the Commission for putting it on. Thank you.

22 MS. RAITT: Thank you.

23 So just one more moment to let people press the
24 raise-hand function if you'd like to make a comment or
25 press star nine if you're on the phone. We'll just give it

1 another second here.

2 And I will just say that we also welcome written
3 comments and those are due on May 23rd.

4 And thank you so much for everybody who stayed on
5 and made those thoughtful comments.

6 I think we will close the public comment, I don't
7 see any more raise hands, and I will turn it back to
8 Commissioner Monahan. Thank you.

9 COMMISSIONER MONAHAN: Well, thanks, Heather.

10 And thanks to everybody who participated today.
11 It has been a long day. And we strategically, actually,
12 made that choice because we wanted to get as many
13 Commissioners from across both agencies as we could. And
14 it was really nice having cross-agency representation.

15 So I just want to thank my colleagues at the
16 Public Utilities Commission and here at the Energy
17 Commission for really putting in the time. I hope
18 everybody is doing something stimulating with your body
19 tonight because we all need to get up after the Zoom call.

20 So I really want to thank, actually, Heather and
21 her team, and Ben Wender, my advisor, Vice Chair Gunda's
22 team, who was really -- and the CPUC, who has also been
23 involved. There are a lot of cooks in this kitchen
24 planning this series of workshops.

25 So now I just will encourage everybody, as

1 Heather said, please submit your ideas into the docket.

2 There are other workshops that are going to
3 intersect, but these two kind of foundational ones on the
4 bulk grid and the distribution grid are going to be kind of
5 pulling the platform for the recommendations and the
6 observations that we're going to make on how do we speak to
7 deployment of clean energy resources on the grid,
8 recognizing all the amazing work that is going on right
9 now.

10 I thought today was really great in terms of I
11 think David Erne and Simon Baker from the PUC really helped
12 set the stage about here's what's going on. I'm
13 particularly excited about the freight infrastructure
14 planning framework, which will, I think, help us help move
15 the ball when it comes to planning for freight
16 electrification.

17 And we heard from Chris Walker this morning with
18 GRID Alternatives about how important it is to make sure
19 that we're prioritizing lower-income and disadvantaged
20 communities and families whose housing is going to be
21 older, it's going to cost a little more to do the work.
22 We're going to have to put more elbow grease into making
23 sure that this is a transition that works for everybody.

24 We heard a lot of great ideas today. I'm not
25 going to mention all of them. I'll just say a few.

1 In terms of the importance of transparency, that
2 we need to make processes transparent, understand where the
3 roadblocks are, and capitalize on this opportunity for
4 collaboration to work kind of intently with different
5 interests on specific problem solving. That's how
6 performance-based regulation got developed in Hawaii and I
7 think there's a lot of we've done this in the past in
8 California. We're going to continue to do this, making
9 sure we engage different stakeholders.

10 We also heard comments about incenting generation
11 and storage to avoid and maybe for delay, costly grid
12 upgrades. A lot of good food for thought there.

13 And I want to say one thing that Diego from
14 Daimler, I believe it was, talked about, the importance of
15 these, you know, these carbon regulations that are coming
16 down the pipe. I want to say to everybody, I mean, that
17 actually was part of my incentive for wanting to take on
18 this topic is that we know we need to electrify
19 transportation rapidly. It's critical for air quality.
20 It's critical for our climate. We need to do it in a way
21 that's really attentive to rate payers and to safety and
22 resilience.

23 So that's, you know, that's the reason why you
24 see both agencies and CAISO last week participating in
25 this. We know that this is critical and we are we are

1 working on it and we're going to continue to work on it.

2 So if anybody else wants to make a closing
3 comment, just -- Vice Chair Gunda?

4 VICE CHAIR GUNDA: Yeah. Thank you, Commissioner
5 Monahan. Thank you. I just wanted to, you know, just
6 elevate, you know, the thank you to you. What an amazing
7 couple of workshops we've had, I think, and it just really
8 set the stage for much broader engagement on some critical
9 issues. I think this is this is really well done. Just
10 wanted to thank you for your leadership and all the
11 panelists and people who stuck with us the whole day. We
12 almost have a hundred people still listening in. We were
13 at 200, so it's just wonderful conversation just points to
14 the interest and thoughtful comments, so look forward to
15 collaborating.

16 I think I want to just, for us, as we think
17 through the IEPR, really also elevating you know to the
18 points that you just made, how do we think about the net
19 benefit, right, net benefit of ensuring electrification
20 happening and, you know, really maximizing demand
21 flexibility to take advantage of the ability of us to
22 energize on the grid side, right, on both sides and really
23 think and, you know, have that guide of, you know, net
24 impact and maximizing the net impact in the short term as
25 we move forward so that we don't lose ground on the big

1 anchor projects we can do right now that otherwise might be
2 just set aside?

3 So just wanted to think about how to frame
4 that, the idea. Thank you.

5 COMMISSIONER MONAHAN: Yes, President Reynolds?

6 PRESIDENT REYNOLDS: Thanks, Commissioner
7 Monahan. I also wanted to thank you, and also Vice Chair
8 Gunda and Commissioner McAllister as our hosts, and for
9 including the CPUC Commissioners in these workshops. We
10 are really pleased to be working together on these
11 difficult issues.

12 And also, I think, you know, just having us here
13 today, I wanted to let everyone know that all that also
14 reflects a lot of staff collaboration between CPUC staff
15 and CEC staff, and also CAISO staff, and I really look
16 forward to that continued collaboration. I think it's
17 really important especially on this issue.

18 I appreciated hearing from all of the panels
19 today and the public comment. And I think, you know,
20 hearing a lot about the challenges and the difficulty of
21 the challenges, the fact we need a diverse set of solutions
22 was really important to you know continue this dialogue and
23 so I look forward to continuing to work together on it.

24 Thank you.

25 COMMISSIONER MONAHAN: Alright, I don't see any

1 other Commissioners raising their hands, so I think we are
2 adjourned. Alright, everybody, go have a lovely evening.
3 Thanks for joining us today.

4 (The workshop adjourned at 5:02 p.m.)
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 14th day of August, 2023.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

August 14, 2023