

DOCKETED

Docket Number:	22-BSTD-01
Project Title:	2025 Energy Code Pre-Rulemaking
TN #:	252150
Document Title:	July 27, 2023, 2025 Pre-Rulemaking Workshop Transcript
Description:	Transcript for July 27, 2023, 2025 Energy Code Pre-Rulemaking Workshop on heat pump baselines, and photovoltaic and energy storage system requirements.
Filer:	Javier Perez
Organization:	California Energy Commission
Submitter Role:	Energy Commission
Submission Date:	9/6/2023 11:50:00 AM
Docketed Date:	9/6/2023

CALIFORNIA ENERGY COMMISSION

In the matter of:

2025 Energy Code Pre-Rulemaking) Docket No. 22-BSTD-01
_____)

STAFF WORKSHOP:

2025 ENERGY CODE HEAT PUMP BASELINES AND
SOLAR PHOTOVOLTAIC SYSTEM REQUIREMENTS

REMOTE ACCESS VIA ZOOM

THURSDAY, JULY 27, 2023

9:00 A.M.

Reported by:

Chris Caplan

APPEARANCESCEC STAFF

Payam Bozorgchami, Technical Lead

Javier Perez, Project Manager

Bach Tsan, Senior Mechanical Engineer

Michael Shewmaker, Building Standards Branch

Will Vicent, Building Standards Operations Division

Danny Tam, Water Heating Technical Lead

Muhammad Saeed

Bill Pennington

ADDITIONAL PARTIES PRESENT

Alea German, Frontier Energy

Eric Shadd, NORESKO

Xia Fang, NORESKO

PUBLIC COMMENT

Bob Raymer, CBIA

Laura Petrillo-Groh

Jonny Kocher, RMI

Meg Waltner, Energy 350

Gina Rodda, Gabel Energy

Ted Tiffany, Bay Delta Conservation Plan

Matthew Vespa, Earthjustice Coalition

APPEARANCESPUBLIC COMMENT (cont.)

Matt Baker, Daikin Comfort Technologies

Joe Cain, SEIA

Luke Morton, California Association of Building Energy
Consultants, and Morton Green Building Services

Karen Kristiansson

Robert Hassis, Daikin Comfort Technologies

Carol Roberts, G.R.E.G. Consulting

Jay Madden, SCE

Misti Bruceri, Misti Bruceri & Associates, LLC

Bronte Payne, SunPower

Andrew Schwartz, Tesla

P R O C E E D I N G S

9:05 a.m.

THURSDAY, JULY 27, 2023

1
2
3
4 MR. BOZORGCHAMI: Good morning, everyone. This is
5 Payam Bozorgchami, one of the senior engineers in the
6 building standards branch here at the energy commission.
7 We're going to start the pre-rule making workshop in about
8 five minutes. Just want to make sure we allow everyone to
9 get on and get settled and be ready to go. So, thank you so
10 much. So Good morning, everyone. Welcome to the Pre-
11 Rulemaking Workshop on the Heat Pump Baselines and Solar
12 Photovoltaic and Energy Storage System Requirements for the
13 Proposed 2025 Energy Standards. Before we
14 start the workshop, we've got some housekeeping rules, and
15 I just want to go over those real quick.

16 First of all, this workshop is being recorded.
17 And we do have a court reporter on hand that's going to be
18 recording and transcribing the notes from today.

19 So in doing so, after every works presentation,
20 you are more than welcome to raise your hand and we will
21 mute you or unmute you, and please state your name and your
22 affiliation. And we're asking if we could have one speaker
23 from every affiliation speak today. There's going to be a
24 lot of happening and there's going to be a lot of
25 discussions happening.

1 If we do not get to your comments or your
2 questions today, we're more than happy to have you submit
3 your comments in writing to us and we will be able to
4 review and respond back to you.

5 If you're on the phone and you want to have a
6 have a discussion with us, you could press the star nine
7 and raise your hand and we will unmute you, and you need
8 to, on your side, press star six to mute and unmute
9 yourself. Again when you do get on to speak, please first
10 state your name and your affiliation. And I will apologize
11 right now, if you don't, I'm probably going to have to stop
12 you and have you do that.

13 So we got a full schedule for today. And I
14 really want to apologize right now. We were to get the
15 agenda out on the -- or the noticed agenda on the docket,
16 and unfortunately staff were working late -- or, actually,
17 early, until this morning, working on these slides and the
18 agenda and we were not able to get that posted in a timely
19 manner. I rest assured that we will have them done
20 properly from here on, but for the first one, I apologize.

21 So before we start, let me -- here's the agenda.

22 Javier Perez, our Project Manager for the 2025
23 Energy Standards, will do the introduction, give a little
24 bit of discussion on the timeline, the metric, and the
25 authority that allows us to do what we're doing.

1 Bach Tsan, who is one of our Senior Mechanical
2 Engineers responsible for the heat pump baseline for
3 single-family, multifamily, and nonresidential, will give
4 us a quick briefing on single-family nonresidential.

5 And Danny Tam, one of our Mechanical Engineers
6 and our subject matter expert on heat pumps and water
7 heating, will also do a quick discussion presentation on
8 multifamily.

9 Then we have Muhammad Saeed, he's our Senior
10 Electrical Engineer with the Building Standards Branch, and
11 he will be giving us a quick presentation on the solar
12 fault solar photovoltaic system and energy storage store
13 systems that we're looking into for 2025.

14 And we will have, at the end, we will have a
15 quick Q&A session on everything.

16 But after every presenter speaks there's going to
17 be a time for ask questions and we will try to respond to
18 you and, if we cannot, we will get back to you.

19 With that, I'm going to stop talking and I'm
20 going to let Javier Perez take it from here.

21 MR. PEREZ: Alright. Okay. Can you hear me
22 okay? Okay. Great. I'm going to take the screen sharing
23 and I'm going to share my screen.

24 MR. BOZORGCHAMI: Please do.

25 MR. PEREZ: Let me know if you can see my screen.

1 Okay. Alright. Let's get going. Thanks.

2 Hi. My name is Javier Perez and I'm with
3 California Energy Commission. I'm the Project Manager for
4 the 2025 Energy Code, and today, I'll briefly go over our
5 authority and process, some of the drivers behind the
6 Energy Code, the underlying energy metrics of our Code, and
7 finally, timelines for the 2025 Energy Code update.

8 I want to take some time to thank you all for
9 taking time out of your day to participate in this pre-
10 rulemaking workshop, and hope that through your
11 participation and collaboration with us, that we can make
12 great strides in terms of energy efficiency and long-term
13 state goals with this 2025 Energy Code update.

14 Alright, now let's start with the Energy
15 Commission's authority and process. This slide is a little
16 bit loaded, so I'll bring it up in segments to, hopefully,
17 train your eyes to what I'm speaking to.

18 So two California Assemblymen, Charles Warren and
19 Al Alquist, authored the Warren Alquist Act. And this Act
20 authorizes the Energy Commission to develop and update the
21 Energy Code on a triennial basis, and for local
22 jurisdictions to enforce the Energy Code through the
23 building permit process.

24 The Energy Code was developed at the direction of
25 the Warren-Alquist Act to reduce the wasteful, uneconomic,

1 inefficient, and unnecessary consumption of energy.

2 Now on the right, you're seeing a chart that
3 compares site energy consumption of single-family
4 residential -- of a single-family residential building when
5 built to the 2021 International Energy Conservation Code in
6 blue, and then that same building built to the 2022 Energy
7 Code requirements in green. On the bottom, you've got 16
8 climate zones that represent variations in climates that we
9 have in California.

10 Now nonresidential buildings are a lot more
11 complex and would take a lot more slides because of various
12 variations in building types, so we're only going to go
13 over a single-family buildings for this segment.

14 Now if you take a few points away from this
15 graph, one should be that averaging across all climate
16 zones, single-family buildings built to California's Energy
17 Code use an estimated 52 percent less site energy than
18 those built to the 2021 International Energy Conservation
19 Code. For the 2022 cycle, we used time-dependent valuation
20 energy, or TDV energy, as the underlying energy metric.
21 And in TDV, which values energy differently depending on
22 the time of day and day of the year, the Energy Codes
23 requirements led to single-family buildings consuming 45
24 percent less TDV energy than if they were built to the 2021
25 IECC.

1 The last takeaway I'd like to leave this slide
2 with is that while our buildings are becoming increasingly
3 more efficient over time and outpacing national standards
4 significantly, our buildings natural gas consumption, which
5 is represented by the light green segments of the bars, are
6 a large portion of our buildings overall energy
7 consumption. Our state has lofty greenhouse gas emission
8 reduction goals and buildings play a part in those goals.
9 Our state also has clean energy requirements for
10 electricity retail sales over the next couple decades that
11 we'll go along -- that we'll go over on the next slide.

12 Now if you want to learn more about how the 2022
13 Energy Code compares to the federal standards, our 2022
14 impact analysis report can be found at the link below.
15 These slides will be posted as soon as possible. We intend
16 on documenting them tomorrow, Friday, July 28th, barring
17 any complications, so stay tuned.

18 Alright, now let's talk about those state drivers
19 and some of the themes of the 2025 Energy Code.

20 We're obligated to contribute to the state's
21 greenhouse gas reduction goals, and one of those goals is
22 Senate Bill 100 or the 100 Percent Clean Energy Act of 2018
23 which states that by 2045, 100 percent of electricity
24 retail sales must come from clean energy sources. Now this
25 will make electricity significantly cleaner over time and

1 will also have substantially positive impacts on the
2 state's greenhouse gas reduction goals.

3 Another driver is Governor Brown's Carbon Neutral
4 Executive Order to achieve carbon neutrality by 2045.

5 So the Energy Code is tasked with contributing to
6 these goals and must do so by increasing building energy
7 efficiency requirements, all while proving measures to be
8 cost-effective and technically feasible.

9 Now how do we plan to contribute to these state
10 goals with the 2025 Energy Code?

11 We'll continue to explore where highly efficient
12 heat pumps can be introduced as a prescriptive baseline for
13 space and water heating systems. You'll hear some of that
14 today. And we'll continue to promote demand flexibility.
15 And in 2019, we introduced solar photovoltaic system
16 requirements for low-rise residential buildings, and in
17 2022 we introduced similar requirements for some
18 nonresidential, high-rise residential, and hotel/motel
19 buildings, and also added energy storage system
20 requirements. And in 2025, we'll continue to work towards
21 including these systems and considering where their use can
22 be expanded.

23 Now for the purposes of the Energy Code, a
24 process is an activity or treatment that is not related to
25 human occupancy, and a covered process, it's just one of

1 those processes that we have requirements for or that we
2 cover. Our processes can consume large amounts of energy.
3 And as with all items identified on this list, we want to
4 continue to make strides and look at these systems and to
5 find efficiencies where possible.

6 We're going to make sure that our standards
7 continue to serve as protection for affordable housing.
8 When our standards increase energy efficiency they raise
9 the bar for newly-constructed buildings and, in doing so,
10 they bring affordable housing construction along with them.
11 We're looking at affordable housing programs and the
12 compliance tools that they use and hope to streamline some
13 of their efforts to make it easier for the designers of
14 these buildings to demonstrate compliance with our Code and
15 demonstrate compliance with the requirements for affordable
16 housing programs.

17 Existing buildings will continue to be a focus of
18 the Energy Code. And we're also looking at smaller homes,
19 or ADUs, and how our requirements fit for those smaller
20 dwellings.

21 And we'll continue to collaborate with the Air
22 Resources Board, the Department of Housing and Community
23 Development, and the Building Standards Commission to
24 ensure that our buildings continue to meet acceptable
25 levels of indoor air quality. And we'll support these

1 agencies as the transportation industry continues to move
2 towards electrification.

3 Alright, now let's go over our underlying energy
4 metrics that help determine energy savings.

5 Now for the 2025 Energy Code cycle, we're
6 pivoting from using time-dependent valuation energy, or TDV
7 energy, using long-term system costs. Long-term system
8 costs is the cost effectiveness and energy valuation
9 methodology used in the development and implementation of
10 the Energy Code. LSE factors are converted, are used to
11 convert predicted site energy to long-term dollar costs to
12 California's energy system. The underlying varying
13 valuation of energy depending on the time of day and the
14 day of year that was used for TDV still remains but we've
15 converted those energy savings to long-term system cost
16 savings to better reflect the actual cost of the energy to
17 consumers, the utility system, and to society.

18 This graph represents an average day's dollars
19 per megawatt hour and how that cost varies by time of day
20 and the different inputs that go into that cost.

21 The source energy metric was introduced during
22 the 2022 Energy Code cycle and is defined as the source
23 energy of fossil fuels following the long-term effects and
24 any associated changes in resource procurements. It
25 focuses specifically on the amount of fossil fuels that are

1 combusted in association with demand side energy
2 consumption and to calculate source energy for any given
3 hour, and the value in that hour for each forecasted year
4 is average to get a lifetime average source energy.

5 Now because a buildings energy use depends
6 partially on weather conditions which differ throughout the
7 state, the Energy Commission established 16 climate zones
8 representing distinct climates within California. This is
9 not new for this cycle but hopefully it serves as a
10 refresher if you're already up to speed on California's
11 Energy Code. As a result of having 16 climate zones,
12 requirements can vary significantly from zone to zone since
13 when energy savings vary, measures are found to be more or
14 less cost-effective.

15 Now let's go over where we are in this cycle and
16 where we're going over the next few years.

17 So from June of 2021 to May of 2022 the Codes and
18 Standards Enhancement Team, or the CASE Team, requested and
19 received over 700 measure proposal ideas. Now in the
20 months that followed the Energy Commission collaborated
21 with the CASE Team, got that list down to 80 measures, and
22 further down to 40 as the work progressed. From March to
23 November of 2022, the Energy Commission updated weather
24 data and LSE and source energy metrics, and the CASE Team
25 then held their workshops, their welcome webinars in

1 October of 2022, and followed that with workshops on
2 measure proposals through May of this year.

3 In parallel, from November '22 to now, the Energy
4 Commission has worked feverishly on 2025 heat pump and PV
5 system measures for the 2025 cycle, which you'll be hearing
6 about today.

7 From May to July of this year the CASE Team
8 published their draft Measure Proposal Reports and held
9 public comment periods to solicit feedback for those
10 measures. If you'd like to view those draft reports, and
11 in the near future view the final reports, visit the link
12 at the bottom of the slide. Again, we hope to have these
13 slides posted tomorrow. Otherwise, maybe a screenshot,
14 convert that picture to text recognition, and then click on
15 the link. But maybe we'll get that to you faster than we
16 think.

17 Alright, now what's to come?

18 The CASE Team will be publishing final Measure
19 Proposal Reports through August of this year. And the
20 Energy Commission will take proposals from the CASE Team
21 and other stakeholders and review, propose, and workshop
22 those measures during this pre-rulemaking workshop phase
23 through the end of August.

24 The Commission will then publish draft updates to
25 the 2025 Energy Code or draft express terms in October of

1 this year and open rulemaking for the 2025 Energy Code in
2 January of 2024. And we expect to adopt the 2025 Energy
3 Code in June of 2024. And the Building Standards
4 Commission should have their approval for updates to all
5 parts of Title 24 in December of 2024. The effective dates
6 of the 2025 Energy Code will be January 1, 2026.

7 Now on the topic of the Building Standards
8 Commission, you know, we very much feel for the work that
9 they have to do with intervening Code cycles. They've got
10 workshops scheduled for August 1st through the 3rd next
11 week, so we won't be having any workshops to make sure that
12 we're not in conflict with that, those workshops and those
13 stakeholders.

14 So our next workshop, we're routing notices now,
15 we expect to have that published today, is scheduled for
16 August 10th, same time, 9:00 a.m. to 3:00 or earlier,
17 depending on when that ends. From there on, we'll have
18 workshops weekly, we'll have notices out two weeks before
19 the workshop date, but we're still finalizing the review of
20 the measures that are to be proposed so appreciate your
21 patience with that.

22 Now if you'd like to participate in the workshops
23 that the Building Standards Commission is going through,
24 next week, there's a link at the bottom of this slide,
25 again, August 1st through the 3rd, visit that link and you

1 can sign up for their webmail.

2 Alright, now for this Code cycle, this is a list
3 of senior staff in the Building Standards Branch at the
4 Energy Commission. If you're as bad with names as I am,
5 again, my name is Javier and I'm the Project Manager for
6 the 2025 Energy Code. Payam Bozorgchami is our Technical
7 Lead and specializes on building envelope, additions, and
8 alterations to existing buildings and accessory dwelling
9 units or smaller dwelling units. Hailie Bucaneg is our
10 Lead on covered processes, demand response controls, and
11 our nonresidential and residential alternatives,
12 alternative calculations methods work. And Muhammad Saeed
13 is our Solar PV and Energy Storage Systems Lead. And Bach
14 Tsan is the Lead on HVAC Systems and Refrigeration.

15 And if you'd like to reach out, our email
16 convention at the Energy Commission is
17 `firstname.lastname@energy.ca.gov`. Our goal through all of
18 this work is to build consensus through these workshops and
19 through this public process and your participation, your
20 comments, all of this goes a long way to help with that
21 goal. So we hope to hear from you now, today, and
22 hopefully in the coming months. We hope to make something
23 that we can all agree upon and make great strides for the
24 next Code cycle.

25 So with that, I'll send it back to Payam and

1 continue with today's workshop.

2 Thanks, Payam.

3 Thanks, everyone.

4 MR. BOZORGCHAMI: Thank you, Javier.

5 One thing I forgot to mention as housekeeping is
6 even though we're not doing in-person meetings at this
7 time, there's a few of our staff members, presenters here
8 in the office today. And if there's a case of an emergency
9 or the fire alarm goes off and we have to vacate, we're on
10 the 15th floor, and by the time we get down and get the all
11 clear to come back into the office, it will be about 30 or
12 45 minutes. So we're going to probably leave the system
13 running for 45 minutes and we'll just come right back and
14 try to get as much as we can done. If not, we'll extend it
15 to our next workshop, which is happening on August 10th.
16 So just wanted to give you that heads up.

17 And one more thing, please, for today's workshop,
18 please provide comments and be active in providing
19 feedback. The more we get sooner from you, the better it
20 is for us to do a decent job in the workshop and the
21 rulemaking process.

22 With that said, I'm going to hand it off to Bach
23 Tsan, our Senior Mechanical Engineer with the Building
24 Standards Branch and he's going to walk us through the
25 residential single-family heat pumps.

1 MR. TSAN: Alright. Good morning. Hopefully
2 everyone can hear me. Great.

3 Welcome to the 2025 Energy Code Pre-Rulemaking
4 Workshop. I am Bach Tsan, the Senior Mechanical Engineer
5 with the Building Standards Branch. I'm up first today, so
6 I'm going to walk us through our proposal for the heat pump
7 baselines for newly-constructed single-family homes. And I
8 believe there's going to be question and answer section at
9 the end, so I know we'll cover that.

10 Alright, so here's a look at the agenda for this
11 morning and this workshop session and the following
12 workshop session. Sorry. The agenda will follow the same
13 framework for the different topics I'll be presenting this
14 morning.

15 Quickly, we'll go over the baseline overview.
16 Heat pump, I'm going to give a little bit of talk on the
17 heat pump market. I'll go over the 2022 prescriptive
18 baseline as they are today, and the 2025 proposal, energy
19 savings methodology, the energy savings results that we've
20 gotten, cost analysis, and the performance approach
21 options.

22 Alright, so I'll start briefly by describing the
23 technology that's being used to help meet state goals.

24 Heat pump space heaters and heat pump water
25 heaters are the main tools that are being used for setting

1 the energy performance (indiscernible), also known as the
2 baselines. The research operation of the -- the reversible
3 operation of the heat pumps allows them to function in both
4 heating and cooling systems depending on the mode selected.
5 It uses the same technology as an air conditioner which
6 operates in reverse to provide warmth into the indoor
7 space. In the discussion, we refer to heat pump space
8 heaters mainly because of their heating function as we're
9 comparing to a traditional furnace. The coefficient of
10 performance that's used to measure the efficiency of the
11 heat pump, COP indicates how much heating a pump can
12 provide and compared to the energy it consumes.

13 So similar to vapor compression system in a
14 cooling system with a reversing valve, it reverses the
15 process by heating and cooling in a single package. It's a
16 key technology to achieve the, you know, decarbonization
17 goals, and we'd leverage it to -- and leverage increasingly
18 clean electricity. They're efficient. We're looking at
19 COPs of excess of three and, thus, helps us decrease energy
20 consumption and greenhouse gases. And throughout this
21 presentation, we'll talk about feasibility and cost-
22 effectiveness heat pumps.

23 Alright, so I wanted to highlight this event that
24 happened this year, in 2023, I believe in April and May.
25 The California Billing Industry of America, with Consol

1 and partnered with Southern California Edison and the
2 California Investor-Owned Utilities, along with SMUD, put
3 on the heat pump forums. They were focused on space and
4 water heating, but we had two forums, one was in Northern
5 California in Sacramento's SMUD facilities, and another one
6 in Southern California, the Newport Beach location.

7 Those that were in the audience were members of
8 the TVIA (phonetic) and representatives of the building
9 industry. We had manufacturers and other stakeholders at
10 the meeting. The forum focused on the heat pump market,
11 market availability, the technology, the systems and
12 infrastructure that needs to support heat pumps.

13 Many interesting issues were discussed, but one
14 of the main points we noticed, we learned that the heat
15 pump market was healthy and it's showing growth since 2020.
16 So with 50 percent of the market for heat pump space
17 conditioning systems in single-family homes reaching Q4
18 2022, and also, you know, we had in 2020, early 2020, we
19 had a little bit more than 4 percent and now we're looking
20 at about 16 percent market share. These are pulling from
21 our registry data and it shows a pretty healthy market
22 open.

23 Alright, so jumping into our current prescriptive
24 HVAC and domestic hot water requirements for the '20 -- for
25 single-family homes if you're looking at all the climate

1 zones. And, you know, the 2022 Energy Code already
2 establishes heat pump baselines for a majority of the
3 climate zones. And so, you know, you can see here already
4 that we have domestic hot water heating systems as heat
5 pumps for everything except for 3, 4, 13 and 14, and heat
6 pump space heating in those subsequent spaces 3, 4, 13, 14,
7 and so the gas furnaces and split ACs are currently what
8 the systems of choice are for our standard baselines for
9 2020 Code cycle.

10 Alright, so here are the considerations to
11 establish a heat pump baselines. As Javier mentioned
12 earlier, showing the long-term system costs, so looking at
13 the total energy savings or dollar savings over the 30 year
14 of the building, we need to show source savings when
15 compared to the 2022 Energy Code. We are going to
16 demonstrate the measure is cost-effective in for -- to that
17 particular building type in all the climate zones, and
18 ensure that it's technically feasible for mixed-fuel and
19 all-electric to a lot of compliance flexibility.

20 Alright, so now this is our proposal for 2025.
21 Red in -- excuse me. And the graphic shows, you know, the
22 proposed baselines for 2025. Red is where there's a change
23 from the 2022 prescriptive standard to a heat pump
24 equivalent. It's either a space -- a heat pump space
25 conditioner or a heat pump water heater. Our analysis is

1 still ongoing but our current analysis shows that Climate
2 Zone 15 is a little challenging and we'll talk a little bit
3 about that later but, you know, that this is the proposal.

4 So we'll jump to the next slide.

5 And here are some assumptions that we have for
6 the heat pump baselines. So the building energy model
7 prototypes used the 2022 Energy Code prescribed
8 requirements where the analysis was done using the CBECC-
9 Res 2025 research version, so you can download that from
10 our Energy Code website or the CBECC-Res website. Minimum
11 efficiencies are shown here with heat pump space heaters
12 that are using the SEER2 of 42.3. You've got water heaters
13 and UEF 2.0, and the a/c furnace combinations are the SEER
14 and EER shown here -- sorry, that's EER2. And then
15 instantaneous water heater of 0.81 and UEF.

16 So the energy savings impact is shown on this
17 slide. You can see that the fresh air, you see the fresh
18 air electricity and gas savings, along with the source and
19 LSE savings. The fresh air energy savings show higher
20 electric use, mainly due to the fuel substitution change.
21 However, the combined electric and therms savings show
22 positive overall impact. So they are source savings, and
23 then LSE savings over 30 years. Climate Zone 1, you're
24 ranging from 377 to 17,000 over the course of 30 years.

25 Alright, so that's the -- that was a tabular

1 form. This is the graphical form on long-term system cost
2 savings. The total savings over 30 years of life is shown
3 here per climate zone. You know, basically the previous
4 table showed, this is the LSE column in the graphic form.
5 As you can see, every climate zone, we have positive long-
6 term things for both. So the yellow and, I guess, dark
7 blue or dark bars and yellow bars show where -- (clears
8 throat) sorry -- where the transition from -- or the split
9 from heat pump from a gas tankless water heater to a heat
10 pump water heater, and then the dark bars are from gas a/c
11 to a heat pump space heater.

12 Alright, so getting into costs. So these are the
13 costs that are incremental costs, you know, for cooling-
14 dominated climate zones. You know, most of these costs are
15 received from the Codes and Standards Management Team and
16 extrapolated based on equipment costs. So the cooling-
17 dominated climate zones compared between mixed-fuels and
18 heat pumps a seating systems here, the -- for cooling-
19 dominated climates it's the equipment sizing is based on
20 cooling load. And, you know, the costs here show all
21 present value numbers.

22 So, yeah, with the possible exception of the
23 coldest climates and Climate Zone 6, the compressor is
24 sized to meet them heating load design. I'll kind of show
25 the heating costs in the heating-dominated climates. And

1 these are heating-dominated climate capacities based on
2 CBECC-Res, the equipment is, the sizing is based on
3 heating. And so in this table you're looking at a gas a/c
4 system that would have a cooling capacity of one and a half
5 tons. However, if you're going to be sizing a heat pump
6 that has -- that sizing should be based on the heating
7 loads. So the heat pump, with some strip heat, gives you
8 the equipment capacity here. So in climates, for example,
9 in Climate Zone 1 where you would have a one and a half ton
10 a/c system, you have a heat pump you need an equivalent
11 size heat pump at four times.

12 So, yeah, the heat pump needs to be sized to meet
13 both heating and cooling loads. The heat pump with the
14 same nominal capacity as the existing air condition may or
15 may not be able to meet the heating loads without relying
16 on auxiliary heat here. So these are the assumed costs.
17 So there is a \$600 increase for ultra low NOx furnaces,
18 shown on the first cost of the -- for the replacement costs
19 here.

20 Alright, so as we mentioned before, this is the
21 cost factors for heat pump space heater, shown in a
22 tabular -- in a graphical form. This is LSE savings and
23 costs per home. So 3 and 4 and 13 and 14, that shows that
24 their heat pump space heating is already a baseline. But
25 you see for both the 2,100 and 2,700 prototypes, we have

1 positive large arm (phonetic) system costs. And 500-foot
2 small-home prototypes are also positive here. So we did
3 get -- for the most part, we are looking at the savings
4 based on the heating side of things.

5 Alright, we'll go over to the heat pump water
6 heating side. So this side shows -- follows the same logic
7 as for heat pump space heating. You know, we're focusing
8 mainly on 3, 4, 13 and 14 climate zones since the 2022
9 prescriptive baselines tankless water heaters. Let's see,
10 from the cost here, it's for a single-family as the first
11 cost are adjusted based on general contractor feedback.

12 The one consideration here, heat pump water
13 heater is replaced at year 15, while the gas tank is at
14 year 20, so that has some adjustments for the totals here.
15 The water heaters in the garage is based on the garage
16 installation. And then, yeah, for a 500-square-foot
17 prototype the heat pump water heater is inside a
18 conditioned space, so all costs are prefaced in value.

19 Again, showing cost-effectiveness in here. For
20 the water, I think I -- let me jump back quite a bit. Let
21 me jump back to this slide here.

22 So as I was speaking earlier for cost-
23 effectiveness, if you looked at all the -- you know, we
24 have cost-effectiveness across the climate zones for, you
25 know, 1 and 2, 5 through 12, and 16. So for 15, we're

1 currently continuing the analysis, but due to the low
2 heating loads, we are not able to get cost-effectiveness in
3 Climate Zone 15, so that's below the line. So that there's
4 a -- that's the current challenge we have/are continuing to
5 explore.

6 Okay, I'll get, well, I'll get to this and then
7 we'll get to questions. I'm sure we have a few there.

8 So as I mentioned, one of the requirements, we
9 wanted -- we have to ensure that there is a performance
10 approach. We're looking at three scenarios here. There
11 could be more but, in general, we've -- we ran these
12 scenarios that could be able to meet the 2025 prescriptive
13 baseline.

14 So if you wanted to look at an equivalent, you
15 would pick a mixed-fuel system. In Climate Zone 1 you have
16 a large menu of items that would be required if you're
17 putting in no heat pumps, so this is in case you're putting
18 in a water heater, a gas furnace and a water heater. So
19 you would have -- we -- in every climate zone, for a mixed-
20 fuel system, we would have a solar fraction domestic hot
21 water.

22 We're looking at, you know, a 70 -- sorry -- 70.7
23 solar refraction water heater. And, yeah, the first column
24 shows the pathways that would build on both systems with
25 mixed-fuel. Each of these solutions for climate zones

1 have, you know, the 0.7 solar fraction water heater; 70
2 percent, it basically means 70 percent energy needed to
3 heat the waters provided by solar energy, where the
4 remaining 30 percent comes from some kind of auxiliary
5 backup. It includes triple-pane glass, you know, verified
6 low-leakage ducts, a tight envelope, compact distribution
7 water heating, R-60 attic, and heat recovery ventilation.

8 So there's a slight difference between Climate
9 Zone 1 and the other climate zones. We're looking at a
10 sensible recovery efficiency of 67 first in the area
11 climate zones, and in Climate Zone 1, you're look at 73.

12 Alright, so as you can see, the Climate Zone 1 to
13 16 is -- has quite a few measures that need to be added to
14 have equivalents, and the other climate zones are fairly
15 manageable. So for a mix -- in the mixed-fuel case where
16 you have one heat pump, you know, the -- you're looking at,
17 also, high-efficiency equipment. The high-efficiency
18 equipment we're looking at is 95 AFUE on the furnace, and a
19 16 SEER2 on the air conditioning unit, with the self-
20 utilization (phonetic) credits.

21 For dual fuel heat pumps, I give the third one,
22 you would think would still include a solar fraction water
23 heater in most cases, but Climate Zone 16 is challenging
24 with the triple-pane, verified low-leakage ducts, R-60
25 attic, and your current ventilation.

1 And so that's the presentation for the heat pump
2 water heating. So I think there's a mention of comments
3 due today, when the comments were due, it's August 9th by
4 five o'clock. The docket here, you click through and my
5 contact information is at the bottom
6 Bach.Tsan@energy.ca.gov.

7 And I'll hand it back to Payam to see if there's
8 any questions.

9 MR. BOZORGCHAMI: Sure. Sure. Thank you. Thank
10 you, Bach.

11 So I think what we're going to do, we're going to
12 do the raised hands first, then we're going to go to the
13 Q&A, the question and answer sessions after that.

14 So with that, I think we have Bob Raymer who's
15 raised his hand.

16 Bob, go ahead set your name and affiliation.

17 MR. RAYMER: Yes. Thank you. This is Bob Raymer
18 with the California Building Industry Association, and the
19 California Apartment Association. And the CEC is clearly
20 going in the direction that we expected here.

21 One of the things that we would like to do with
22 the CEC over the next, probably, six to eight weeks is take
23 a hard look at the total package, and we'll get that in the
24 coming workshops, and then figure out the cost of
25 compliance, a typical cost of compliance that could be

1 expected if the builder decides to stick with gas and try
2 to do the efficiency measures and the other measures to get
3 over that, versus the cost of going with both electric heat
4 pump space and water heating.

5 That is clearly going to be an analysis is going
6 to help kind of make the transition here. And we'd like to
7 get that done sooner than later so that we can start
8 getting this information out to the membership to show them
9 that, there, the path of least resistance is also the path
10 of least cost.

11 So with that, Payam, thanks for the presentation,
12 and we look forward to working with the CEC as this goes
13 forward. Thank you.

14 MR. BOZORGCHAMI: Wonderful, Bob. We, too, also
15 would look forward to working with CBIA and others on this
16 topic. Thank you.

17 With that, Laura, I'm going to unmute you. Go
18 ahead and state your name and your affiliation.

19 MS. PETRILLO-GROH: Hello. This is Laura
20 Petrillo-Groh with the Air Conditioning Heating and
21 Refrigeration Institute. I apologize, I was -- I joined
22 the public meeting a little bit late, and I had also asked
23 a question in the chat, if nonresidential heat pump
24 baselines would be covered today?

25 MR. BOZORGCHAMI: Yes, they will be.

1 MS. PETRILLO-GROH: Oh, thank you. Thanks,
2 Payam. I appreciate that.

3 And then, you know, looking back, for those of us
4 who've been following along with baseline changes over the
5 Code cycles, you know, it's, I think, a little a little bit
6 difficult to keep up with the, you know, the change in cost
7 that is -- that goes through when, you know, TDV was used
8 before for part of the analysis and now we're switching,
9 you know, metrics to those long-term system costs.

10 And apologies if I missed it there, but are there
11 documents explaining, you know, these different cost
12 effectiveness or energy cost savings measure metrics that
13 CEC has used over the years?

14 MR. BOZORGCHAMI: Laura, I apologize, I'm just
15 having a hard time hearing you. Can you maybe move the mic
16 a little bit closer? I apologize. Sorry.

17 MS. PETRILLO-GROH: Sorry, Payam. Is this a
18 little bit better?

19 MR. BOZORGCHAMI: I think so, yes.

20 MS. PETRILLO-GROH: Okay. Great. Apologies
21 about that.

22 I was just having a little trouble keeping up,
23 you know, comparing back to the 2022 documentation for heat
24 pump baselines where TDV was used for energy cost savings
25 analysis, and now it looks like you're switching to a

1 different metric.

2 MR. BOZORGCHAMI: Yes.

3 MS. PETRILLO-GROH: Is there any documentation
4 that may have been presented at other meetings or that's on
5 the docket that talks about the differences in these two --

6 MR. BOZORGCHAMI: Yes.

7 MS. PETRILLO-GROH: -- (indiscernible)
8 techniques?

9 MR. BOZORGCHAMI: Yes. So, Laura --

10 MS. PETRILLO-GROH: Thank you.

11 MR. BOZORGCHAMI: -- we did a presentation on
12 long-term system costs a while back. And I believe on our
13 docket there's information on a long-term system cost
14 versus TDV. I'll make a note and I'll send that to you.

15 MS. PETRILLO-GROH: Thank you so much, Payam.

16 MR. BOZORGCHAMI: Sure.

17 MS. PETRILLO-GROH: I just, you know, have been
18 following these measures along and --

19 MR. BOZORGCHAMI: Sure.

20 MS. PETRILLO-GROH: -- and, you know, the
21 (indiscernible) --

22 MR. BOZORGCHAMI: Sure, sure, sure.

23 MS. PETRILLO-GROH: -- because it's just, it will
24 be necessary to really compare what's been done, because
25 some of the, you know, I think performance options are

1 really eye-opening for, you know, continuing to use that as
2 a mixed-fuel, even with one heat pump system, so a lot of
3 batteries on that list. So I just wanted to really
4 understand what you all are doing with that analysis, so
5 apologies for missing that and thank you for making that
6 documentation available. Appreciate it.

7 MR. BOZORGCHAMI: No worries. I will take care
8 of it for you.

9 So with that, I think Jonny Kocher, you have a
10 raised hand. I'm going to unmute you. Go ahead and state
11 your name and affiliation, please.

12 MR. KOCHER: Yes. Jonny Kocher with Rocky
13 Mountain Institute, and thank you for having this workshop
14 today.

15 And I just wanted to thank the staff for doing
16 such a really amazing analysis here and in moving towards
17 having a dual heat pump baseline for residential buildings.
18 And really glad to see how much energy savings we're going
19 to be looking at and the long-term system cost savings.
20 It's pretty clear that we're moving in the right direction
21 on both for cost, as well as for climate. And, yeah, just
22 really happy to see this today thank you.

23 Thank you.

24 MR. BOZORGCHAMI: Thank you.

25 If there's no more raised hands -- oh, one more.

1 Meg, I'm going to unmute you. Go ahead and state
2 your name affiliation, please. Thank you.

3 MS. WALTNER: Hi. Can you hear me?

4 MR. BOZORGCHAMI: Yes.

5 MS. WALTNER: Meg Waltner from Energy 350 on
6 behalf of NRDC.

7 I just wanted to echo Jonny's comments. We're
8 also in strong support of this and, yeah, really happy to
9 see all the work that's gone behind it and really moving in
10 the right direction in terms of encouraging emissions
11 reductions, and also lower overall system costs, so thanks
12 for all the work that's gone into this.

13 MR. BOZORGCHAMI: Thank you. Thank you. I wish
14 I could take credit but I can't. I'll leave that up to
15 Bach and others.

16 With that, if there's no more raised hands, and
17 if you do decide you have further questions, we'll come
18 right back to you, but with that, we're going to pass it
19 off to Mikey Shewmaker, who will handle the questions and
20 answers that came to us.

21 MR. SHEWMAKER: Yeah. This is Michael Shewmaker
22 with the Building Standards Branch. Yeah, we have several
23 questions online.

24 The first question is from Robert Glass.

25 "Do space heating heat pumps cover, one, air-to-air

1 heat pumps, two, ground source heat pumps, and three,
2 air-to-water heat pumps?"

3 COMMITTEE MEMBER STANHOFF: Sorry. Yeah, so when
4 you mean covered, our analyses are looking at air to --
5 air-to-air heat pumps. I think, in general, heat pump
6 space heating would include the other categories too.

7 MR. PEREZ: Yeah, and just to expand on that
8 really quickly, the standard design --

9 MR. BOZORGCHAMI: I apologize. I'm going to have
10 you state your name and affiliation, please.

11 MR. PEREZ: Sorry. This is Javier Perez, Energy
12 Commission. I'll turn on my camera, Payam.

13 Yeah, the standard design will be based on air-
14 to-air. That's not to say ground source or air-to-water
15 can't be simulated, they just are going to be measured
16 against air to air.

17 Thank, Payam.

18 MR. BOZORGCHAMI: Thank you, Javier.

19 Mikey?

20 MR. SHEWMAKER: Yeah. Our second question is
21 from Ray Nalangan, and I apologize if I'm mispronouncing
22 your last name, but their question is: "Does the system
23 cost saving include bill savings?"

24 And I believe Will Vicent was going to answer
25 that question.

1 MR. VICENT: Hey, Ray, thanks for the question.
2 Hopefully you all can hear me okay. Will Vicent from the
3 California Energy Commission, Deputy Director of the
4 Building Standards Operations Division here.

5 So our long-term system cost does not include
6 bill savings. It is intended to be more than that. We
7 believe that today's costs do not adequately account for
8 the state's long-term policies and statutes, such as
9 Renewable Portfolio Standards, electric vehicle
10 commitments, and also building decarbonization and
11 electrification. And so we do a 30-year long-term costs
12 that includes all those benefits to California. And
13 documentation for that methodology can be found online.

14 We held two workshops on this topic last year, so
15 heard your comment, and also Laura's, around the difficulty
16 to follow, and so we can help direct you to those materials
17 on the methodology online. And we do plan on publishing a
18 comprehensive report on that methodology later this year.
19 Hopefully that helps.

20 MR. BOZORGCHAMI: Thank you, Will.

21 MR. SHEWMAKER: And our next question is from Jay
22 Madden. "Do the second rows represent replacement cost at
23 NPV, at net present value" -- actually, this is a two-part
24 question -- and then later on, Jay goes on to ask: "versus
25 the first row of replacement costs?"

1 MR. BOZORGCHAMI: So Alea German, who's one of
2 our consultants that helped us out, could you answer that
3 question?

4 MS. GERMAN: Sure. Hi everyone. This is Alea
5 German with Frontier Energy.

6 So, yeah, Jay, you're right. So the first
7 replacement cost row here, it should be labeled the -- it's
8 the future value of that replacement cost. So you'll see
9 in most places, it's really similar to the first cost. The
10 second row is taking that back to present value. So those
11 two aren't additive. There are two ways of looking at that
12 replacement cost. What gets added to the first cost to
13 come up with the total incremental cost is that second line
14 at that present value. So that lifetime incremental cost
15 that that Bach showed applied in the cost effectiveness
16 analysis is a 30-year present value cost.

17 MR. BOZORGCHAMI: Thank you Alea for answering
18 that questions.

19 Mikey? I think Mikey may have some technical
20 issues.

21 MR. SHEWMAKER: Sorry. Hard time with the mute
22 button.

23 Our next question is from Meg Waltner. "Can you
24 clarify what the two replacement costs shown are?"

25 And then, actually, the next question is very

1 similar. "Can you explain the difference between first and
2 second replacement costs?"

3 MR. TSAN: I believe Alea just covered that; is
4 that correct or -- in the two different replacements? One
5 was future value, one was present value. I'm not sure if
6 that got covered or it needed to be asked separately.

7 MR. BOZORGCHAMI: So, Meg, this is Payam. Could
8 you raise your hand and I'll unmute you and you could ask
9 your question in more detail?

10 MS. WALTNER: I'll just go off mute to say that
11 she did answer my question, I think.

12 MR. BOZORGCHAMI: Oh, wonderful. So that was Meg
13 Waltner with NRDC.

14 MS. WALTNER: On behalf of NRDC.

15 MR. BOZORGCHAMI: I'm sorry. I'm sorry.

16 MS. WALTNER: On behalf of NRDC. Thank you.
17 Yeah.

18 MR. BOZORGCHAMI: Sorry.

19 MR. SHEWMAKER: Great. Okay then our next
20 question is from Claire Warshaw.

21 "Will the Energy Code cover 120 volt plug-in heat pump
22 water heater choices? Are there any noise
23 specifications for any of the heat pump devices, HVAC,
24 and heat pump water heater?"

25 MR. TSAN: Yeah, if I could ask Danny to review

1 that and respond?

2 MR. TAM: Hi. Danny Tam, CEC staff.

3 A 120 volt heat pump water heater can be modeled
4 in CBECC. Again, the standard design will be set as the
5 federal minimum generic heat pump water heater, but you're
6 free to use any heat pump water heater that we have in the
7 software.

8 MR. BOZORGCHAMI: Thank you, Danny.

9 MR. SHEWMAKER: Great. Our next question is from
10 W. Geese (phonetic). I hope I'm pronouncing that
11 correctly. It says,

12 "Hello. I apologize for coming in late. Does solar
13 thermal utilize solar fraction or SUEF, solar uniform
14 energy factor, to measure efficiency?"

15 MR. TSAN: We are currently speculating on the
16 solar fraction.

17 Go on, Danny.

18 MR. TAM: Yeah, any reference to solar water
19 heating is measured in solar fraction, so it's typically
20 less than one. So it represents how much, what's the
21 fraction of the water heating energy supplied by the solar
22 thermal system.

23 MR. BOZORGCHAMI: Thank you, Danny.

24 MR. SHEWMAKER: Okay. And our next question is
25 from Nick Brown.

1 "Are there heat pump prescriptive standards being
2 proposed for the small home prototypes as well? Were
3 you able to show cost-effectiveness for those? I
4 would suggest a heat pump water heater in a small home
5 be modeled as outside location as space is such a
6 premium there. Would the electric tankless water
7 heater exception continue to be available to homes
8 less than 500 square feet in the new Code?"

9 MR. TSAN: So the answer is, yes. Oops, go on.
10 I think Danny was going to talk about the water heating.

11 MR. TAM: Hi. This is Danny again.

12 We're not planning to change the exception
13 currently, so that exception should still be available for
14 small ADUs.

15 MR. TSAN: And, Nick, yes, just, really, the
16 first heat pump space heating. it does cause -- it does
17 account for the small prototypes. So the heat pump
18 requirements are going to be for both the 2,100, 2,700 --
19 or all three, 2,100, 2,700, and the 500-square-foot
20 prototypes. Hopefully that answered your question.

21 MR. BOZORGCHAMI: Thank you. Thank you, Bach.

22 I'm going to go back real quick to see if there's
23 any more raised hands out here. If not, I'm going to move
24 on to the alteration sections. That's going to be in Part
25 11 for single-family.

1 MR. BOZORGCHAMI: We have one more question in
2 the Q&A, and the question is from Jason Babrook (phonetic).
3 "Can air-to-water heat pumps that serve both HVAC and
4 domestic hot water loads be modeled?"

5 Go ahead, Danny. I think the answer is yes.

6 MR. TAM: Yeah. Danny Tam again.

7 We have some capability. We are improving a lot
8 of those modeling capabilities. For example, you could
9 model air-to-water heat pump that does all three functions.
10 Some new ones, such as harvest thermal, that capability we
11 just added to the latest version of CBECC.

12 In short, you could. And we're making
13 improvements as we go along.

14 MR. BOZORGCHAMI: Thank you, Danny.

15 And then there's one more question from Laura
16 Petrillo-Groh from HRI, and the question she asks is:

17 "Will the technical support document break out
18 cost/benefit calcs separately for the 500, 2,100, and
19 2,700 single-family homes?"

20 I'm going to answer that real quick. The 2,100
21 and 2,700 is a split. What we did was we split between a
22 45/55 split on those, and then the low or the small home,
23 the 500-square-foot, is done separately.

24 So pretty much to answer, yes, it is done, and
25 that will be presented or we'll show that to you later.

1 So as of now I don't see any raised hand. And I
2 don't see any more questions in the Q&A portal.

3 So with that, Bach, go on and maybe start talking
4 about the single-family alteration sections.

5 MR. TSAN: Great. Yeah. Thank you for all the
6 questions and appreciate all the comments.

7 For those questions I haven't been asked or
8 addressed, please submit the questions and comments via the
9 docket.

10 Alright, so like we'll jump to the next part, the
11 single-family alteration. So, again, I'm Bach Tsan with
12 the California Energy Commission, Senior Mechanical
13 Engineer at the Building Standards Branch. This part of
14 the presentation will be on heat down baseline for the
15 single-family alterations. It's also known as Part 11.

16 Alright, so we'll start talking about the
17 CALGreen Building Standard Code. Just a quick history.

18 In 2007, the Building Standards Commission was
19 directed to develop the Green Building Standards to meet
20 the requirements of Assembly Bill 32, the Global Warming
21 Solutions Act. This Act was required to a reduction of
22 greenhouse gas production to 1990 levels by 2020. After
23 the buildings -- after vehicles, buildings are the second
24 greenhouse -- largest greenhouse gas emissions producers.

25 So following Assembly Bill 32, and in 2008,

1 Senate Bill 1473 gave the California Building Standards
2 Commission (indiscernible) develop green standards for our
3 communities where no other state has authority, so Housing
4 and Community Development are responsible for the
5 residential sector, CVSC for nonresidential, Division of
6 the State Architect for Schools, health care access and
7 information for hospitals and institutions, and the CEC for
8 energy. So the CALGreen Code was published in 2008 and
9 reviewed and updated every two years.

10 So the California -- the CALGreen Code requires
11 that the measures to meet -- that measures meet the
12 mandatory efficiency requirements in Part 6. They also set
13 voluntary standards to all jurisdictions to choose from a
14 menu of options to meet a higher target set for climate
15 zones.

16 Alright, so, you know, just jumping into the
17 proposed standard, so just wanted to mention, currently
18 there is no requirement for alterations. So where
19 replacements are to be -- replacements can either be gas or
20 heat pump.

21 The proposal is set to -- this proposal is to set
22 the voluntary standard for when an a/c is replaced, you can
23 pick one of these three options. A heat pump by itself,
24 you'd take out your existing a/c furnace and you would put
25 in a heat pump. The second option is to put a heat pump

1 with the gas backup while the existing furnace may remain
2 in place to provide and set up to provide back up heat.
3 And third, an air conditioner that meets the specific
4 requirements. That I'll be showing on the next slide.

5 Alright, so as stated in the previous slide, one
6 of the, you know, one of one of these, the packet -- the
7 packages that we are looking to prescriptively specify is a
8 new a/c unit and you leave the furnace or install a new
9 furnace. These additional measures are required for
10 compliance. So new R-8 ducts with five percent leakage,
11 400 CFM per ton airflow for your blower, looking at the
12 0.35 watts for CFM fan efficacy, refrigerant charge, R-49
13 attic installation, and air sealing of the ceiling. So
14 these are the voluntary performance purchase options for
15 alterations.

16 So these savings here is in, also, efficiency
17 LSE, you know, placed per climate zone. These are relative
18 to the existing bell (phonetic) base of a 1,665 per --
19 1,665-square-foot prototypes.

20 Okay, so this, we're showing the voluntary
21 savings for -- the voluntary -- the energy savings for the
22 voluntary proposal here. So for climate, it's very similar
23 to the -- for newly-constructed buildings. The electricity
24 savings are negative due to the fuel substitution, but you
25 have savings in the first year of natural gas, you know,

1 source energy savings, along with the LSE savings.

2 Alright, so just to show just a couple points
3 here is you're looking at savings over the course of 30
4 years. We're ranging and we have the same challenge at
5 Climate Zone 15 where you're looking at LSE savings of
6 \$466, and then maximum savings in Climate Zone 16 of
7 \$17,000, mainly due to the heating loads in the two
8 different climate zones.

9 Okay, so the costs are shown on this slide and
10 it's -- these are -- what we like about the incremental
11 cost for one -- incremental cost for the first heat pump is
12 lower than the replacement for the a/c furnace. However,
13 the replacement cost of failure is more expensive for the
14 heat pump furnace because its lifetime is two and a half
15 years shorter. So the a/c has an effective use of life of
16 17 and a half versus the 15-year furnace.

17 Also, the remaining use gets added to the a/c
18 furnace whereas the heat pump has no theoretical remaining
19 useful life. This is also a result in two and a half years
20 of discount rate for the heat pump system.

21 And so overall, this is a chart that shows the
22 cost effectiveness of putting in a heat pump space heater
23 versus a gas furnace. It's cost effective in Climate Zones
24 1 through 14 and 16. So Climate Zones 15 has a negative
25 benefit cost ratio due to lower heating needs.

1 So in both newly-constructed buildings and
2 alterations, the system design operates long enough for
3 heating to be able to claim the cost effectiveness over a
4 glass (phonetic) furnace.

5 And with that, that's the presentation for
6 alterations and for Part 11.

7 MR. BOZORGCHAMI: Thank you, Bach.

8 So with that, I'm going to go to the raised-hand
9 session.

10 One request, and I apologize, I'm throwing this
11 all at you, folks, when you do raise your hand and you're
12 about to speak, please, when you state your name, also
13 spell it for the first time. Our court reporter needs that
14 information to make sure we get it right.

15 So with that said, any raised hand? Anybody have
16 any questions you would like to verbally ask? With that --
17 oh, we got one.

18 Meg, I'm going to unmute you. And go ahead and
19 state your name, your affiliation, and spell your last
20 name, please.

21 MS. WALTNER: Hi. Meg Waltner, that's
22 W-A-L-T-N-E-R, from Energy 350 on behalf of NRDC. I have
23 some comments. Maybe I'll start with my question that I
24 put in the chat around the energy savings numbers and just
25 understanding what those energy savings represented.

1 You showed sort of three pathways. Are those
2 from -- oh, it was like the heat pump-only, heat pump plus
3 backup, or a/c plus complementary measures, what are the
4 savings numbers represent, which of those pathways, or is
5 it whatever the highest -- is it taking the highest savings
6 per climate zone?

7 MR. TSAN: Oh, the energy savings here?

8 MS. WALTNER: Yeah.

9 MR. TSAN: Yeah. This corresponds to the
10 largest -- I'm sorry, the LSE saving corresponds to the
11 largest bars here. So this is looking at new space -- new
12 heat pump space heater compared to an existing a/c furnace.

13 MS. WALTNER: Okay, but like in climate zone --
14 okay. And same for -- so it's the heat pump-only is what
15 these numbers are showing numbers are showing compared to
16 an a/c furnace?

17 MR. TSAN: Yes.

18 MS. WALTNER: Okay. Great.

19 And then just sort of more broadly, you know,
20 thank you so much for all the work that's gone into this.
21 Really great to see you looking into this. You know, I
22 think from NRDC's perspective, we'd really like to continue
23 the conversation about, you know, whether this could be
24 considered in Part 6 as a prescriptive requirement. You
25 know, I think putting it in Part 11, it is a lot less

1 effective in terms of getting the heat pumps that we need
2 over the next decade into homes in California. And so
3 that's something that we hope that you'll continue to
4 consider going forward.

5 But, you know, thank you for the work that's one
6 into this so far today. And great to see this analysis and
7 all the different options that you've put forward here.

8 MR. BOZORGCHAMI: Thank you, Meg. And we're more
9 than happy to work with you, with NRDC and others.

10 Next we have Jonny Kocher. Please stage your
11 name and spell and your affiliation.

12 MR. KOCHER: Thank you. It's Jonny Kocher,
13 K-O-C-H-E-R, and I work at Rocky Mountain Institute.

14 Yeah, I wanted to thank the CEC for going down
15 this path and looking at the analysis for a/c to heat pump
16 requirements. I want to echo a lot of what Meg said, like
17 I think this is great analysis but I also think that it
18 would be a lot more effective if it was in Title 24, Part 6
19 of the Energy Code versus a voluntary measure in Part 11.

20 You know, in order for us to hit our heat pump
21 targets by 2030 we need to be doing interventions where
22 it's most cost effective. And when people are replacing
23 air conditioners, that is one of the most cost effective
24 ways for us to be doing fuel switching to heat pumps
25 because they're already going to be doing large equipment

1 replacement. And, yeah, in order to kind of align with the
2 goals of zero emission-based heating requirements for both
3 BAAQMD and CARB, it does feel like doing this type of
4 intervention makes the most sense to be a mandatory measure
5 in 2025 through Part 6.

6 So look forward to working with the CEC on trying
7 to figure out how we can move this measure to Part 6 and
8 any way in which we can support that by trying to provide
9 more analysis or resources.

10 Thank you.

11 MR. TSAN: Thank you for your feedback.

12 MR. BOZORGCHAMI: Thank you.

13 Gina, go ahead and state your name and
14 affiliations and spell your name.

15 MS. RODDA: Hello. My name is Gina Rodda,
16 R-O-D-D-A, from Gabel Energy. And I'm going to bump the
17 wave a little bit here.

18 And I work with a lot of homeowners of which if
19 something like this was in Title 24 Part 6 they couldn't
20 afford it. Usually you're replacing things because they
21 broke down and usually right when you didn't have the money
22 for them. And I already am seeing more and more work done
23 without building permits to avoid what is going on here in
24 the Energy Code.

25 I love the Energy Code. I believe in the Energy

1 Code. Some of this is causing major heartache for me on
2 how I'm going to prepare my clients, my building
3 departments, and my manufacturers for what might be coming.

4 So I do applaud that we are going to introduce
5 this in Part 11, introduce it, get people maybe comfortable
6 with it, see how it's going to look and feel before it
7 becomes a requirement in the Energy Code as mandatory or
8 prescriptive, shall we say, versus voluntary and CALGreen.

9 Thank you.

10 MR. BOZORGCHAMI: Thank you, Gina, for that
11 comment.

12 Next, Ted, please state your name affiliation and
13 spell your name.

14 MR. TIFFANY: Oh, sorry. Can you hear me now?

15 MR. BOZORGCHAMI: Yes.

16 MR. TIFFANY: Ted Tiffany, T-I-F-F-A-N-Y.

17 MR. BOZORGCHAMI: I apologize, Ted, that's my
18 mistake. Go ahead and start all over.

19 MR. TIFFANY: I'm back again.

20 MR. BOZORGCHAMI: Sorry. Sorry.

21 MR. TIFFANY: Ted Tiffany, T-I-F-F-A-N-Y,
22 Building Decarbonization Coalition.

23 I think Gina just highlighted all the elements of
24 why it should be in Part 6 and the job of the Energy
25 Commission to increase compliance improvement and

1 streamlining those strategies for these retrofits. And the
2 voluntary element is not going to align with the timeline
3 that the California Air Resources Board is going to have
4 this replacement for gas appliances.

5 So this needs to be embedded into Part 6. And I
6 encourage you guys to look at the strategies to embed this
7 in Part 6 and streamline that effort for compliance
8 documentation because moving that to Part 11 will
9 complicate compliance at the local level as a voluntary
10 element.

11 So I'm more than willing to help you guys look at
12 that timeline. And I'm sure Gina with all our expertise
13 will help us find an effective path for compliance in the
14 retrofits under Part 6.

15 MR. BOZORGCHAMI: Thank you, Ted. And we will
16 reach out to you and we'll have further discussion on this
17 one.

18 MR. TIFFANY: No worries.

19 MR. BOZORGCHAMI: Matthew Vespa, please state your
20 name, affiliation, and spell your name. Matthew, you're
21 going to have to unmute yourself.

22 MR. VESPA: I see. Can you hear me now?

23 MR. BOZORGCHAMI: Yes.

24 MR. VESPA: Okay. Great. Matt Vespa for Earth
25 Justice. M-A-T-T V, as in Victor, -E-S-P-A.

1 I want to also support moving this measure to
2 Part 6. I'd just point out, there were actually quite a
3 bit of cost savings your analysis showed and cost savings
4 for not having to replace your furnace when that burns out.

5 And, you know, I support the comments of Meg and
6 Jonny and Ted on this. And just to pull it back a little
7 bit, I mean, I think it's just extremely alarming what's
8 happening with the climate right now with record ocean
9 temperatures, fires across the world, sea ice disappearing
10 at just unbelievable rapidity, and we just don't have time
11 to slow walk this. And we have to do everything we can to
12 get off fossil fuels. And this is just really an important
13 low-hanging fruit to reduce our gas dependency that saves
14 money and avoids actually some of the complications of
15 furnace replacements by doing it when you have a chance
16 with the a/c.

17 So I really look forward to working with you on
18 making this a mandatory measure. There are all sorts of
19 reasons why we should be doing that and it should be part
20 of Part 6 of the next Building Code cycle.

21 Thank you.

22 MR. BOZORGCHAMI: Thank you, Matthew.

23 Matt Baker, go ahead and state your name and
24 affiliation.

25 MR. BAKER: Yes. Matt Baker, last name spelled

1 B-A-K-E-R, with Daikin Comfort Technologies.

2 I posted my question in the chat but I'll also
3 state it here. I'm wondering if the cost effectiveness
4 calculations for transition from a/c to heat pump consider
5 the added cost for electrical panel upgrades, breakers,
6 wiring, service disconnect, those sorts of additions?

7 MR. TSAN: Yes, they do. They include those
8 items. It does not include the service to the building but
9 it does include the wires and breakers.

10 MR. BAKER: Thank you.

11 MR. TSAN: Yes.

12 MR. BAKER: Yeah.

13 MR. BOZORGCHAMI: Thank you, Matt.

14 Thank you, Bach.

15 Joe Cain, please state your name and affiliation.

16 MR. CAIN: Sorry. I had to unmute. Joe Cain,
17 last name C-A-I-N, with the Solar Energy Industries
18 Association.

19 On the discussion of requirement for gas
20 equipment being replaced with heat pump, I just, whether
21 it's in Part 6 or Part 11, I just want to point out that
22 there will be cases where there are emergency replacements
23 of appliances. I have a personal experience with a water
24 heater gas leak and being shut off by a technician in the
25 afternoon on a Friday and trying to find replacement.

1 So anyway, one way or the other, I think that
2 emergency replacement needs to be addressed. And a change
3 out of a water heater or a furnace is much faster than a
4 change out to heat pump. So I just want to bring that up.

5 Thank you.

6 MR. BOZORGCHAMI: Thank you, Joe.

7 I don't see any more raised hands on my side. So
8 I'm going to -- oh, we got one more.

9 Luke, go ahead and state your name and
10 affiliation and spell your name, please.

11 MR. MORTON: Yes. My name is Luke Morton,
12 M-O-R-T-O-N, and today I'm calling on behalf of the
13 California Association of Building Energy Consultants, and
14 I'm on the Advocacy Committee. So I just wanted to echo
15 some of the discussion already happening here.

16 I think that we'll be eager to work with the
17 Commission if there's legs on the notion to develop Part 6
18 language, to craft it in such a way that we address some of
19 the concerns already raised, you know, with practicalities
20 on the ground, while still making it -- sort of moving the
21 ball forward on that. I can personally think of a couple
22 of -- personally have a couple of ideas on that front,
23 which would address them, which acknowledge some of the
24 concerns but still get at not explicitly in Part 11, but in
25 the Part 6 where I believe it will have more depth to

1 broader implementation.

2 That's it, thanks.

3 MR. BOZORGCHAMI: Thank you, Luke.

4 And we have Karen also. Go ahead and state your
5 name, last name, and please spell your name.

6 MS. KRISTIANSOON: Thanks, Payam. It's Karen
7 Christensen, which is K-R-I-S-T-I-A-N-S-S-O-N. And you can
8 get it from the chat, it's a tough one.

9 And I just, I did put my question in the chat but
10 wanted to also raise it, which is on the practical side of
11 just making sure that things work. I just want to make
12 sure that when there's a heat pump installed along with an
13 existing gas furnace that there's a smart thermostat or
14 something to make sure that they are not simultaneously
15 cooling and heating. And I just bring that up because I
16 stayed at an Airbnb where that was a problem. And so I'd
17 like to make sure that that's not wasting energy on both
18 ends.

19 MR. BOZORGCHAMI: Sure.

20 MR. TSAN: Alright. Thank you for your comment.
21 Yeah, we'll explore that. We're doing some additional
22 exploration in terms of smart thermostats, but currently
23 our analysis does not include smart thermostat operation.

24 MR. BOZORGCHAMI: Okay. Great. Thank you, Bach.
25 Thank you, Karen.

1 I don't see any more raised hands. And if I
2 accidentally lowered your hand by any mistake, that was not
3 intentional, so I apologize. But with that -- and if you
4 need to raise your hand, please do so.

5 With that, I'm going to pass it on to Mikey,
6 Michael Shewmaker, excuse me, and he will read the
7 questions and answers.

8 Yeah, so we got a few questions online.

9 Our first question is from Robert Glass. "On
10 slide five, what about refrigerant charge?"

11 MR. TSAN: I think I'm just not sure what the
12 specific question is, is it's a required -- it's a required
13 verified refrigerant charge for the -- as a measure. I'm
14 not sure if the question was is it required or what do we
15 need, what is needed for refrigerant charge?

16 MR. BOZORGCHAMI: Well, it to make sure the
17 refrigerant system is charged properly with the proper
18 refrigerant?

19 MR. TSAN: Yes.

20 MR. BOZORGCHAMI: Yeah. Okay.

21 MR. SHEWMAKER: Yeah, Robert has raised his hand.

22 MR. TSAN: Okay.

23 MR. SHEWMAKER: Payam, can you unmute him?

24 MR. BOZORGCHAMI: Sure. Sure.

25 Go ahead, Robert, and state your name and

1 affiliation, please.

2 MR. GLASS: Okay. Robert Glass, G-L-A-S-S,
3 Daikin Comfort Technologies.

4 Yeah, the question, the slide just said,
5 "refrigerant charge," and when it was presented, it just
6 said "refrigerant charge." There was nothing identifying
7 what it is.

8 MR. TSAN: I understand.

9 MR. GLASS: So I was trying to understand what
10 that reference to refrigerant charge is, because it wasn't
11 clear on the slide nor during the presentation portion of
12 that.

13 MR. TSAN: Thank you. I'll make a note on the
14 slides when we post them.

15 MR. GLASS: Thank you.

16 MR. PEREZ: This is Javier with the Energy
17 Commission.

18 Just really quickly, to add, refrigerant charge
19 verification requirements are triggered. That's what
20 that's intending to say. Currently, the Energy Code only
21 requires refrigerant charge verification in climate zones
22 where they have high mechanical cooling.

23 One of the proposals for 2025, for what it's
24 worth, and you'll hear that in the coming weeks, is to
25 require refrigerant charge verification in all climate

1 zones where a heat pump is installed, so that's a little
2 bit of a variance. But, again, refrigerant charge
3 verification where a heat pump is not installed is only
4 applicable to climate zones where they have high cooling
5 demand, too, in I think Climate Zones 2 and 8 through 15.

6 Thanks.

7 MR. BOZORGCHAMI: Thank you, Javier, for the
8 clarification.

9 So, Mikey?

10 MR. SHEWMAKER: Yeah, our next question is from
11 Dan Wildehaus (phonetic). "With LSE savings over 30 years,
12 we assume two heating systems over that time."

13 MR. TSAN: Yes.

14 MR. SHEWMAKER: "In other words, what's the
15 measure life for an air-source heat pump?"

16 MR. TSAN: So, yeah, we're assuming the life for
17 an air-source heat pump is 15 years, so that would be two
18 change-ups over that lifetime.

19 MR. BOZORGCHAMI: Thank you.

20 MR. SHEWMAKER: Thank you.

21 Our next question --

22 MR. PEREZ: Really quickly --

23 MR. SHEWMAKER: Yeah.

24 MR. PEREZ: -- it's two costs, right, first-time
25 cost and replacement cost, only two costs, not two

1 replacements.

2 Sorry about that, Bach.

3 MR. TSAN: No, I understand. Thank you for
4 clarifying.

5 MR. PEREZ: No worries.

6 MR. SHEWMAKER: Okay, and our next question is
7 from Claire Warshaw. "Does the 2025 Energy Code have heat
8 pump refrigerant requirements?"

9 MR. TSAN: No, we do not. No, we do not have a
10 requirement. We're going to be following CARB's direction
11 that we do not state GWP values.

12 MR. SHEWMAKER: Great. Thank you for that.

13 Our next question is from Snuler (phonetic)
14 Price.

15 "I'm a little surprised on the poor cost effectiveness
16 for heat pump space heating in Climate Zone 15. Once
17 you buy a large air conditioner to provide cooling in
18 Climate Zone 15, it seems like the incremental cost to
19 purchase a heat pump rather than just an air
20 conditioner would be less than the cost in purchasing
21 a furnace and gas piping.

22 "Wondering how the analysis has defined the
23 incremental cost for comparison on that result?"

24 MR. BOZORGCHAMI: Alea, would you like to answer
25 that question?

1 MS. GERMAN: Sure. Hi again. This is Alea
2 German with Frontier Energy.

3 And, Snu (phonetic), I'm not sure if you're -- it
4 sounds like you may be referring to the new construction
5 results, but I think we're seeing the same trend in both
6 the new construction and this alteration scenario. And in
7 both cases, you're right that from a first-cost
8 perspective, the estimates show a lower cost for the heat
9 pump installation versus a furnace and a/c. But because
10 of, largely, because of the different lifetimes that are
11 part of the analysis, the 15 years for heat pump and
12 slightly longer, 17 and a half for the furnace and a/c,
13 over that 30-year period, there is an incremental cost for
14 the heat pump case.

15 And in Climate Zone 15, there is really low
16 heating loads. So when you make that switch, you know, we
17 are seeing savings on the heating side but it's really
18 small. And so it's not enough savings, as we're seeing in
19 the other climate zones, to offset that incremental cost
20 for the heat pump over the lifetime.

21 MR. SHEWMAKER: Great. Thanks, Alea.

22 So our next comment is from Gina Rodda. And Gina
23 supports the thermostat comment.

24 "I hear that from many of which, then they associated
25 it with heat pump and causes issues getting people to

1 not hate heat pump."

2 Thank you, Gina.

3 And then we also have a comment from Jim Vershaw
4 (phonetic). "I see the 78 AFUE is listed. Current DOE
5 minimum is 80 AFUE."

6 Thank you, Jim.

7 And our next comment is from Carol Roberts.
8 "Could you please speak to the 0.35 watts per CFM fan
9 efficacy and the reduction from 0.45?"

10 MR. TSAN: Yes. It is one of the measures used
11 to bring down -- to get the a/c furnace to meet our heat
12 pump baseline.

13 So I guess, Carol, is there a specific question
14 on the 0.35 watts per CFM? I think that for alterations,
15 the standard would be 0.45, so we're using 0.35 as a
16 measure.

17 MR. SHEWMAKER: Carol, it looks like you did
18 raise your hand for a brief second. Would you like to
19 unmute?

20 Payam, can you unmute Carol?

21 MR. BOZORGCHAMI: Yeah, Carol, go ahead and
22 unmute yourself and state your name and last name and --

23 MR. ROBERTS: Carol Roberts, R-O-B-E-R-T-S,
24 G.R.E.G. Consulting.

25 The 0.35 fan efficacy, your expectation here is

1 that it will test out. I mean, have you looked at the data
2 in the registries with all the fan efficacy data that is
3 captured right now? 0.35 is not. Especially on a change
4 out, I'm not sure that's even reasonable.

5 MR. BOZORGCHAMI: Okay. So, Alea, could you
6 speak to that?

7 MS. GERMAN: Sure. Hi. Alea German with
8 Frontier Energy.

9 Yeah, those are great points, Carol. And so
10 this, these two, these measures with higher airflow and
11 lower fan efficacy are coupled with new duct work. So this
12 is, you know, what would be called an entirely new or
13 complete replacement system, so new, you know, new
14 equipment, new fan, right, and new duct system. So I think
15 that's the only way that these are really feasible for most
16 alterations.

17 And it is an aggressive target but is achievable
18 if the contractor plays close attention to, you know, the
19 design of the distribution system and the return airflow to
20 the system, and all of those components that contribute to
21 this.

22 MR. ROBERTS: So currently a new construction,
23 heat pump, brand new, it is a 0.58 fan efficacy, and it has
24 a 0.45 for an a/c furnace fan efficacy. And so you're
25 saying now on a change out that it's going to be -- this is

1 not replacement or, you know, one part of the system or
2 both parts, you're assuming complete new duct work and
3 equipment and test out at 0.35. I don't know if that's
4 possible.

5 MS. GERMAN: So this is --

6 MR. ROBERTS: -- when it's higher than -- the
7 requirement is higher than the current new Code, new
8 construction version.

9 MS. GERMAN: Yeah. And just to clarify, so this
10 is for the -- a pathway for a new furnace and air
11 conditioner.

12 So, Bach, do you want to step back to your slide
13 right before this that shows those three paths?

14 So this voluntary option would be, you know, a
15 heat pump, a heat pump with gas backup, or this option
16 three, which is an air conditioner that, you know, meets
17 all these additional measures that were added to that air
18 conditioner or furnace path to try and achieve an
19 equivalent energy outcome as the heat pump. So maybe that
20 helps give a little bit of context.

21 Bach, I don't know if you want to add anything.

22 MR. TSAN: I think you've covered it.

23 MR. ROBERTS: So what is -- so sorry.

24 So how are you assuming that at 0.35 is
25 achievable at all if you're replacing an a/c unit with an

1 existing furnace?

2 MR. TSAN: So you would need to go in and replace
3 the duct work and associated -- so it's to meet the
4 voluntary pathway, it's a package that includes duct sizing
5 or, you know, new ducts and attic insulation and air
6 sealing. So it would require a whole package, you know,
7 not just simply just a replacement of that particular unit.

8 MR. BOZORGCHAMI: So I'm going to interject real
9 quick.

10 So you're saying that all three bullets have to
11 be met for that system to be able to combine?

12 MR. TSAN: Yes.

13 MR. BOZORGCHAMI: Okay. Thank you.

14 MR. ROBERTS: Okay.

15 MR. BOZORGCHAMI: Yeah, we can have side
16 discussions if you'd like further information on this, so
17 we could reach out to you, or you could reach out to us.

18 MR. ROBERTS: Okay. Alright. Thanks.

19 MR. BOZORGCHAMI: Mikey, you have one?

20 MR. SHEWMAKER: Yeah. And our last online
21 question is from Ken Johnson.

22 "There was a reference to 400 CFM on slide five, which
23 would be an increase from 350 today for new
24 construction. Would that apply to heat pump space
25 heating or gas furnaces or both?"

1 MR. TSAN: Well, for this particular slide, it's
2 being applied to the new a/c furnace.

3 MR. SHEWMAKER: Great. And that's it for our
4 online questions.

5 MR. BOZORGCHAMI: Thank you, Michael.

6 So we have one more raised hand from Jay Madden.
7 Go ahead and state your name, affiliation, and please spell
8 your last name.

9 MR. MADDEN: Am I going through -- coming
10 through?

11 MR. BOZORGCHAMI: Yes. Yes, perfect. Thank you,
12 Jay.

13 MR. MADDEN: I apologize. I did not realize I
14 raised my hand. I have no questions or comments. Thank
15 you.

16 MR. BOZORGCHAMI: Thank you. Thank you. No
17 worries.

18 So I don't see any more questions and I don't see
19 any more raised hands. I think it's time for maybe a ten-
20 minute break right now. So let's take a ten-minute break
21 and -- actually, let's take a 12-minute break and we'll
22 come back and reconvene at 10:50, if that's possible?

23 So with that, I'll put the notice up and we'll
24 take a ten-minute break -- or 12-minute break.

25 (Off the record at 10:38 a.m.)

1 (On the record at 10:50 a.m.)

2 MR. BOZORGCHAMI: Welcome back, everyone. Our
3 next presenter is going to be Danny Tam. He's our subject
4 matter and one of our mechanical engineers in the Building
5 Standards Branch. And he will be presenting the
6 multifamily new construction proposal for 2025.

7 Danny?

8 MR. TAM: Good morning, everybody. Hi. I'm
9 Danny Tam from the Building Standards Branch and I will be
10 presenting the proposed 2025 heat pump water heater
11 baseline for multifamily buildings.

12 First, we will review the existing requirements
13 which are located in section 170.2(d). There are different
14 requirements for water heating systems serving single-
15 dwelling units versus central systems. So for your
16 information, in individual dwelling systems each dwelling
17 has its own water heater, while central systems are systems
18 that serve multiple dwelling units.

19 Diving more into individual dwelling systems,
20 there are two prescriptive options for heat pump water
21 heaters, and one option for gas instantaneous water heater.
22 These requirements also serve as the standard design
23 baseline when the building comply under the performance
24 compliance method.

25 As Bach mentioned earlier in his presentation, in

1 the process of developing the 2025 heat pump baseline,
2 there are a number of criteria we have to consider. Like
3 all standards proposals, the proposed changes must save LSE
4 and source energy as compared to a building built to the
5 2022 Standards. And, you know, all changes must be cost
6 effective and technically feasible. And finally, for the
7 heat pump baseline, we have to preserve a level of
8 flexibility for mixed-fuel systems.

9 So the main proposed change is to remove the
10 existing instantaneous gas option for individual dwelling
11 units. And the changes only apply to individual-dwelling
12 unit system and not to central systems. And, you know, any
13 other systems, such as gas, can still continue to be used
14 under the performance compliance method.

15 And this change will also set the heat pump water
16 heater as the LSE target for water heating under
17 performance. We're proposing to leave the source energy
18 target the same as 2022 which has a heat pump space heating
19 as the baseline. Again, this was done to preserve a level
20 of flexibility for builders who are not quite ready to go
21 all-electric.

22 Oops. Sorry.

23 Some of the key assumptions for proposals, we
24 assume the water heating equipment to be of federal minimum
25 compliance products for heat pump water heater, that is a

1 generic UEF 2.0 electric storage water heater, and for gas
2 it is a UEF 0.81 instantaneous gas water heater.

3 We also assume that the water heater heat pump
4 water heater is located in the interior closet with the
5 exhaust air duct to the corridor. The CASE Team
6 investigated existing multifamily projects that have
7 individual heat pump water heaters. And this configuration
8 was found to be the most common.

9 All the analysis was done using the research
10 version of 2025 CBECC. It has all the new 2025 LSE values,
11 source energy, and weather files. For the prototypes, we
12 used the standard four prototypes we used for multifamily.
13 There are two low-rise multifamily prototypes, one mixed
14 use mid-rise and one high-rise mixed use.

15 Here are some early results for energy impact.
16 There is a lot of information so we will not go into too
17 much detail, but these slides will be available after the
18 workshop. What we are seeing is that, as expected, when we
19 switch the water heater from instantaneous gas to heat pump
20 water heater, there is an increase in electricity use and a
21 corresponding decrease in natural gas use. So the first
22 column are the first year electricity and natural gas
23 savings. This results in a reduction in source energy and
24 LSE in all climate zones and for all prototypes.

25 So this slide is low-rise garden style. Here is

1 the low-rise loaded corridor, pretty similar. Mid-rise
2 mixed use. And high-rise mix use.

3 Average therm savings is about 86 therms per
4 drawing unit per year.

5 Here are some examples of a compliance path if a
6 builder chooses not to use a heat pump water heater. We
7 are still in the very early stage of evaluating other
8 options. We hope to present those in the next workshop.

9 Just to go over some of the legends, ECM are some
10 additional efficiency package. In this case, we see ECM
11 includes improved windows, U-factor of 0.25 during water
12 heat recovery and compact distribution for the DHW systems.
13 As you can see, you pick one of the packages or a
14 combination of packages. So, for example, in Climate Zone
15 12, first column represents if the builder has the heat
16 pump space heater and decides to continue to use
17 instantaneous gas. So for Climate Zone 12, to meet the
18 standard, you either do the ECM, the additional battery and
19 PV or solar water heating. We didn't list the solar
20 fraction in these slides, but it ranged from 0.2 to 0.6, I
21 believe.

22 So this is the low-rise garden style. And low-
23 rise loaded corridor, pretty similar. It's either one or
24 combination of options. Mid-rise mixed use.

25 Just one note, high-rise multifamily do require

1 battery storage, so the battery here is in addition to the
2 prescriptive requirement.

3 High-rise mixed use, currently, we're only seeing
4 options for solar water heating. We're continuing to
5 evaluate other options. Again, we hope to present those
6 options in the next workshop.

7 So as many of us know, the performance of a heat
8 pump water heater is highly dependent on its location, and
9 as well as the inlet and outlet condition. For this
10 proposal, we're assuming the heat pump water heater is
11 located in a closet and has the exhaust air vented to the
12 corridor. So we're requesting comments on whether these
13 assumptions are appropriate.

14 One additional note is that we're still working
15 on the incremental cost and cost effectiveness of the
16 measure, and we will present those in the next workshop.

17 You know, comments, written comment by August 9th
18 at this link here. And you can contact me if you have
19 additional questions or comments.

20 This concludes my presentation for multifamily
21 heat pump water heater baseline, and I'm going to send it
22 back to Payam.

23 MR. BOZORGCHAMI: Thank you, Danny.

24 Just wanted to let people know once more that
25 these presentations will be posted on our docket, we're

1 hoping tomorrow, and you still have time. You have our
2 contact information, and you have the docket links, so if
3 you have questions, you're more than happy to reach out to
4 us, and we can answer those at a later time if you're not
5 comfortable answering them here in public.

6 But meanwhile, any questions, any comments to
7 what you just heard from Danny?

8 We have two questions in the question and answer
9 portal, Mike. Michael, would you like to read those out,
10 or would you like me to?

11 MR. SHEWMAKER: Sure. Yeah, our first question
12 is from Ray Nelangen.

13 "Locations for heat pump water heater and low-rise
14 multifamily has been external with louvered in our
15 all-electric program."

16 Thank you, Ray, for the comment.

17 And our next question is from Carol Roberts.
18 "Why would the heat pump water heater ventilation
19 assumption use corridor versus outside?"

20 MR. TAM: I don't know if the CASE Team is
21 online?

22 Again, that was found to be the most common
23 configuration. We did evaluate like on a balcony, the heat
24 pump water heater located on a balcony and vented to the
25 outside.

1 So we're, you know, we are hoping to get some
2 additional comment to see if that is appropriate. And, you
3 know, that's just setting the standard design. The builder
4 can choose to, you know, basically do whatever they want as
5 long as they meet, you know, the standard design budget.

6 MR. BOZORGCHAMI: So I'm going to jump in here
7 real quick. This is Payam. I know this question came from
8 Carol Roberts.

9 Do you have a recommendation, Carol? And if you
10 do, if you raise your hand, I could unmute you. Go ahead.
11 Again, please state your name and affiliation.

12 MR. ROBERTS: Carol Roberts, G.R.E.G Consulting.
13 Just curious on the colder climate, everyone's
14 going to be heating their water probably longer than in the
15 summer, and that would create an extremely cold corridor if
16 you're venting all of those hot water heaters or heat pump
17 water heaters to the corridor because it's throwing all
18 that cold air in the corridor, then you start to have to
19 heat the corridor to offset that. Is that part of it? Has
20 that been considered or am I missing something here?

21 MR. TSAN: Yeah, that is model in the prototype.
22 Yeah, I believe the corridors are conditioned, so in the
23 winter, you're correct that it will require some additional
24 heating, so that is reflected in the results.

25 MR. ROBERTS: Which becomes an owner cost versus

1 a tenant cost. I just don't know where those, the price,
2 the cost breakdowns come into play here. So, I mean,
3 heating those large corridors in large buildings becomes a
4 big part of, you know, the owner's operations, and you're
5 throwing really cold air in there, so --

6 MR. TAM: Okay. Yeah. Thank you for your
7 comment. And we'll consider it.

8 MR. BOZORGCHAMI: That's a good question. That's
9 a good comment, Carol, and I think we'll get back to you on
10 that one. That's good.

11 Mikey, go ahead.

12 MR. SHEWMAKER: Yeah, we've got another question
13 from Gina Rodda. "Would there be a performance penalty for
14 moving to the exterior wall and venting to outside?"

15 MR. TAM: So it all depends. So, again, this
16 only sets the standard. If that configuration performed
17 better, then you will have a performance credit.

18 MR. BOZORGCHAMI: So you would have to go
19 performance when you do that; right, Danny?

20 MR. TAM: Yes. It will also depend on how we
21 write the prescriptive requirement. We might allow
22 multiple options for where to locate the water heater, so
23 that's to be determined.

24 MR. BOZORGCHAMI: Thank you. Thank you. Thank
25 you.

1 MR. SHEWMAKER: Okay, we've got a few more
2 comments in the chat. A comment from Ray Nelangen.

3 "There's also a comfort issue with the corridor
4 venting of heat pump water heaters."

5 Another comment from W Geese. "One other note
6 that thermostats are usually located in corridors, so may
7 not reflect actual home temperatures."

8 And then there's another comment from Gina Rodda.
9 "I have yet to have a project in which the heat pump
10 water heater vents to the corridor. They are always
11 to the outside."

12 MR. TAM: So, yeah, these --

13 MR. SHEWMAKER: And that is it for the online
14 comments and questions.

15 MR. TAM: Yeah, these are great comments. So if
16 you guys can write that in writing, we appreciate it.

17 MR. BOZORGCHAMI: Mikey, are we done with the
18 question and answers? I have a couple of raised hands that
19 I would like to jump to if that's okay with you.

20 MR. SHEWMAKER: Yeah, that's it for the online
21 questions and comments.

22 MR. BOZORGCHAMI: Thank you, sir.

23 With that, Jonny, I'm going to unmute you. Go
24 ahead and state your name affiliation.

25 MR. KOCHER: Thank you, Jonny Kocher, Rocky

1 Mountain Institute.

2 Want to, similar on the single-family new
3 construction side, want to give props to the CEC on moving
4 forward on a strong heat pump baseline for new buildings.
5 I'm really happy to see this moving in this direction. I
6 think it's aligned with where we need to go in order to
7 get -- to hit our heat pump numbers, and really appreciate
8 all the work that you've done and modeling and proving that
9 it's cost effective.

10 Thank you.

11 MR. BOZORGCHAMI: Thank you, Jonny.

12 Next is Ted Tiffany. Go ahead and state your
13 name affiliation, please.

14 MR. TIFFANY: Yeah. Ted Tiffany, T-I-F-F-A-N-Y,
15 Building Decarbonization Coalition.

16 Danny, I've got a handful of our design engineers
17 that can help you with these configurations. We've been
18 having this discussion over the last couple of years and
19 we've designed, actually, a lot of different
20 configurations.

21 The challenge with the corridors normally around
22 the cost of the rated corridors and putting that around the
23 water heater closet gets a little bit more challenging, but
24 we've overcome that in a couple of scenarios. And putting
25 that cool air, it's not quite cold air from the heat pump

1 water heater specifications, is normally to a tempered
2 corridor with very little space conditioning, rarely if
3 ever cooling added to the corridors and even just minor
4 heating. Most of the time it's just ventilation.

5 There are configurations we've done with heat
6 pump water heaters on the exterior of the wall systems,
7 venting to the exterior, as Gina noted, and also ducted
8 with the laundry services that are in each unit. So
9 there's a bunch of different configurations of that.

10 But the dominant or baseline choice would
11 probably have to kind of pull the engineers that are
12 designing these because they've seen it done all three
13 different ways. But I can get you in touch with those
14 folks.

15 MR. TAM: Fantastic. Thank you.

16 MR. BOZORGCHAMI: Thank you, Ted.

17 We just had another question pop up on the Q&A.

18 MR. SHEWMAKER: Yeah, would you like me to read
19 that aloud, Payam?

20 MR. BOZORGCHAMI: Please do.

21 MR. SHEWMAKER: Yes. There's a comment from
22 Louis Garcia. "Corridors are rated and generally prohibit
23 air from adjacent spaces to be dumped into those
24 corridors."

25 And then there's another comment from Gina Rodda.

1 "Many building departments require the corridors be
2 conditioned. Bay area is one of the few that don't."

3 MR. BOZORGCHAMI: Thank you for those comments.
4 They're good. Great. Great.

5 MR. SHEWMAKER: And that's it for online.

6 MR. BOZORGCHAMI: Wonderful. Thank you, Mikey.
7 I do not see any other raised hands or any
8 comments.

9 I just want to make sure people understand that
10 the sooner that we get the comments, the sooner we get your
11 concerns, the better it is for us. And we could do a
12 proper job of doing a good job of getting the proper
13 language out there.

14 With that, since I don't see any more raised
15 hands or comments in the questions and answers, thank you,
16 Danny.

17 I'm going to pass the baton back to Bach Tsan,
18 our Senior Mechanical Engineer, who will be discussing the
19 nonresidential heat pumps for newly-constructed buildings
20 and alterations. I think, first, he's going to be doing
21 the newly-constructed buildings for nonresidentials.

22 MR. TSAN: Thank you, Payam.

23 Great job, Danny.

24 Alright, yeah, so for -- good morning again. I'm
25 Bach Tsan, Senior Mechanical Engineer for the Building

1 Standards Branch. So thanks for all that were with me this
2 morning and continue to be with me right now.

3 You know, so very similar to the single-family
4 side, we've been exploring heat pump baselines and have
5 developed a proposed solution for the 2025 Energy Code.
6 This presentation will focus on the heat pump baselines for
7 medium and large offices and large schools. These are the
8 challenging prototypes for the previous Code cycle, but I
9 think we've been able to identify solutions with the use of
10 air-to-water heat pumps.

11 Alright, just a quick overview of the agenda,
12 looking at, you know, baseline overview, you know, the 2022
13 prescriptive baselines, just to get it a little set and
14 then figure out where our starting point is. I'll show the
15 2025 proposals, go over the energy savings methodology,
16 present the tables with the energy impact results, go over
17 just the general cost analysis and present with those
18 tables, and also we have, you know, performance option
19 approaches that we'll be illustrating.

20 Alright, well, just jumping in to describe the
21 current prescriptive baselines, we have the following.

22 You know, heat pump baselines for certain spaces
23 are already identified for 2022, so these baselines already
24 encourage heat pump technologies. So for schools, banks,
25 libraries, retail, grocery, you know, these show a heat

1 pump baseline on dual fuel heat pump there. So these are
2 in various climate zones. Climate Zone 1 and 16, where
3 it's particularly challenging, but this is where we landed
4 for 2022.

5 Alright, well, this is also for the medium
6 offices, large offices and large schools. These are the
7 descriptions that are the standards designs for these
8 buildings, building prototypes, and the systems.

9 Alright, so this is pulled from the standards. I
10 just wanted to -- I'll probably just jump to the next
11 slide, mainly because this has a visual to show the
12 different prototypes we used.

13 In general, this is the diagrammatic
14 representation of the 2022 baseline system. Obviously, the
15 analysis started with the 2022 prescriptive building and it
16 meets all envelope, air quality, and system requirements.

17 Just a quick description of the large office. It
18 is approximately 500,000 square feet. It has 12 stories
19 with one basement. You know, for this 2022 standard, a
20 large office is being served by a built-up VAV unit with a
21 variable air volume system which delivers air and heating
22 with VAV with reheat coils. So we have a chiller to
23 produce chilled water and a hot water boiler that provides
24 hot water to the reheat coils. Additionally, there's the
25 water cooled chiller, the tower, and a central boiler.

1 So those are the systems typically used for the
2 large office and large schools and which we use as our
3 baseline -- or use as our standard design for 2022 to do
4 the analysis for 2025.

5 And for the medium office, it's approximately
6 54,000 square feet building. It's three stories. Medium
7 office is being served by a package of VAV unit, VAV reheat
8 system, package variable volume DX unit with gas heating,
9 and the hot water reheat terminals.

10 So then the last one, large schools, as I
11 mentioned, the systems are described for large offices, but
12 this is an approximately 200,100-square-foot building, two
13 stories, built-up VAV, variable air volume systems, chilled
14 water and hot water coils, water cooled chiller, cooling
15 tower, central boiler, same as the large office prototype.

16 Alright, so these are the same metrics that are
17 being used for single-family as we -- for non-res, but
18 these considerations are to take place. So, you know, we
19 have to show long-term system cost savings when compared to
20 2022 Energy Code, source energy savings as compared to the
21 2022 Energy Code. We'll be demonstrating the measure is
22 cost effective for each building type in each California
23 climate zone where applicable, and ensure technology is
24 feasible, but that option exists with mixed-fuel and all-
25 electric to allow for compliance flexibility.

1 Alright, just to highlight again, we used CBECC.
2 There's two versions, CBECC-Res was what we were
3 referencing last year -- earlier this morning for the
4 single-family, that we're using CBECC, which is the
5 commercial non-res side that it uses. It creates
6 EnergyPlus (phonetic) input data file.

7 One highlight we wanted to mention was the -- we
8 put -- the software team put together the air-to-water heat
9 pump feature and, you know, thanks to a lot of stakeholders
10 that were helping to study that and get that, turn that on.
11 But it was introduced in CBECC in the 2022 version and
12 allowed for this analysis that we're going to be talking
13 about today.

14 Yeah, and so just to, you know, overall
15 highlight, you know, we used the -- we added measures to
16 the descriptive minimums, like the air-to-water heat pump,
17 used EnergyPlus versions to do some of the additional
18 modeling. And then the results were consolidated in the
19 graphics you've seen in Excel tables.

20 So jumping right into it, the proposal for 2025
21 is, as shown on the screen. This is the system for large
22 offices, and similarly for large schools. This is an air-
23 to-water heat pump. We're proposing that the space heating
24 systems side will require a central air-to-water heat pump
25 with the minimum COP at the rated conditions here at 3.29.

1 We use a buffer tank in there to minimize the, you know,
2 the cycling so that we're -- this is size that, eight
3 gallons per ton. I think we, for the modeling purposes, we
4 use 10 gallons per ton.

5 So one component that we used, too, in our
6 analysis was a four-pipe fan coil. So this used the
7 minimum three speeds, you know, plus the off mode. So this
8 four-pipe fan coil and the air-to-water heat pump are the
9 main components of our system.

10 Again, additionally, we added the dedicated
11 outside air system. It's sized ventilation. It handles
12 most of the ventilation needs. It's set at 0.77 watts per
13 CFM. We use heat recovery ventilation with bypass for
14 cooling and set the bypass lowering limit at 55 degrees.

15 Alright, and here's a diagrammatic. Here's a
16 diagrammatic representation of this for large schools. We
17 have the air-to-water heat pump components here, air-to-
18 water heat pump, the four-pipe fan coil, dedicated outside
19 air system, heat recovery with bypass, so this is more of
20 the diagrammatic representation of the text that was in
21 there. Air-to-water heat pumps are, although they're not a
22 typical system of choice, air-to-water heat pumps are
23 proven design options, and four-pipe fan coils are an
24 established option for zonal HVAC systems.

25 The distribution system, an air-to-water heat

1 pump generates the hot water. We have hot water and
2 chilled water circulated to the individual four-pipe fan
3 coils in each zone. And then, you know, the four-pipe fan
4 coils circulate air within the zone. Ventilation is
5 provided with the DOAS for the heat recovery ventilation.
6 So the characteristics for main savings, as I think
7 mentioned before, minimum of three-speed fan, three-speed
8 fan control on the four-pipe fan coil, and the motor is set
9 at -- or the efficacy is set at 0.35 watts per CFM. This
10 is consistent with Title 24, 2019.

11 The DOAS provides for -- provides outside air in
12 for ventilation. It's sized for ventilation only, not
13 economizing, decoupled from zonal, which means it does not
14 flow through the four-pipe fan coil. And the fan power is
15 set at 0.77 CFM before the altitude adjustment. And then
16 the heat recovery ventilation, it bypasses for when the
17 appropriate cooling is needed. And then the lower limit
18 bypass which, at 55 degrees, which limits heating energy at
19 the perimeter.

20 Okay, so I wanted to maybe walk through the air-
21 to-water heat pump sizing and specification. So we spent
22 time and we interviewed several practitioners and
23 engineering firms and kind of gathered these general
24 guidelines for designing a systems.

25 From the interviews, we saw approximately 50

1 percent of the sizing, so air-to-water heat pump that is
2 sized for 50 percent of the design load, but this can meet
3 90 percent of the operating hours. And our set points are
4 at 105. The typical temperatures we're seeing is 100 to
5 130 reset point, but we -- our model is at 105.

6 The Delta T at the hydronic hot water
7 distribution, we're looking at is 10 to 15 degree Delta T.
8 Again, eight to ten gallon buffer tank.

9 We have electric resistance for boilers that are
10 supplemental for this -- for the ten percent times that are
11 not able to meet the load.

12 So the anticipation is the minimum operation
13 temperature for the air-to-water heat pump is 40 degrees
14 outside air. And, you know, this air-to-water heat pump
15 efficiency is based off of our Title 2, Table 110.2-N.

16 Okay, so that covers the large office and large
17 schools.

18 We also are looking at proposing this type of
19 system for a medium office that -- so a medium office that
20 uses central space heating system will require airflow
21 refrigerant flow. We're basing our system design
22 configuration off of VRF systems. Same minimum, three
23 speeds plus off with heat recovery. And then it also
24 includes a dedicated outside air system. Sizer
25 ventilation, same, 0.77 watts with CFM, heat recovery

1 ventilation and the bypass clinic.

2 So similarly, this is the diagrammatic version of
3 the medium office here. So the distribution system, as
4 I've said, you know, the out during units exchange heat
5 with the ambient and, you know, circulate refrigerant to
6 the refrigerant zone of the coils for VRF systems. Indoor
7 units can select either hot or cold depending on the zone
8 needs, so it would be -- it would have systems that can do
9 both heating and cooling.

10 Ventilation for DOAS is HRV. So as I mentioned
11 before, you know, VRF, we're looking at three -- minimum
12 three-speed fans, 0.35 watts with CFM efficacy for the
13 systems.

14 Alright, we'll stop for questions and answers at
15 the end, but wanted to look at the -- show the first year
16 energy impacts for electricity savings, natural gas, long-
17 term system savings. So this is a little bit different
18 than single-family as we were looking at dollar savings
19 over a 30-year period. This is dollars per square foot
20 over a 30-year period. And then we see a source energy
21 savings here.

22 So these are the simulation results for
23 significant therm savings. And in some climate zones, we
24 have negative first year savings due to just, you know, the
25 change in system type, but we -- the savings are attributed

1 to eliminating reheat by using zonal systems. It was key
2 to saving both heating and cooling. You know, the savings
3 you can see from the electricity savings here.

4 In cooler climate zones, such as 1 and 16, the
5 electricity from heating causes a net increase so that you
6 have some net increase there where you see negatives in
7 the -- in that first year savings column. And then in
8 climate zones where reheat is not a large contributing
9 factor, the baseline, for example in 3 and 5, there's also
10 sometimes a net electric increase from adding the heat pump
11 technology.

12 So looking at this data, you know, for example,
13 for a 500-square-foot prototype in Climate Zone 3 over 30
14 years, your range can be between -- sorry, if you look at
15 Climate Zone 5 at 1.33 LSE, you could theoretically see a
16 savings of \$665,000, and all the way up to Climate Zone 15
17 where you're looking at approximately \$9 million in
18 savings.

19 Alright, so this is looking at large schools. We
20 have very similar values, however -- you know, very similar
21 trends and values. But, however, for the heat and reheat
22 is not a large community factor in this baseline for 3 and
23 15, but there's also sometimes an electric increase in a
24 heat pump technology, same as before. For the schools,
25 there's a difference between this and the office due to the

1 large outside air and ventilation loads for schools.

2 And here's a general look at the medium office.
3 So these are the results for the medium office. There's an
4 interplay between the cooling electricity savings because
5 of the reheat versus the additional electricity from the
6 heating side of the technology that kind of attribute to
7 the electric energy use in the Climate Zones 1, 2, 5, 6,
8 12, and 16.

9 So with that, here's the graphical representation
10 of long-term system cost over 30 years. So in all climate
11 zones and each of the three prototypes, we see positive
12 savings. Initially for source energy, positive savings
13 throughout for large offices, medium offices, and large
14 schools.

15 Just quickly jumping into cost, we're looking at
16 the incremental costs for a large office. As you see here,
17 it's a tabular form to kind of show the estimated first
18 cost between the baseline and the proposed, the baseline
19 being your -- you know, the built-up air handler with
20 boilers and chillers. The air-to-water heat pump and four-
21 pipe fan coils are shown on the, I guess, the fifth,
22 starting in the fifth column. We do include the AGIC,
23 which it's avoided gas infrastructure costs, for a large
24 office.

25 And on the last column, the incremental costs

1 here, you see negative numbers, mainly due to the fact that
2 we're seeing lower costs for the air-to-water heat pump.
3 And these costs showing negative incremental savings due to
4 the savings systems being slightly less expensive.

5 And then here's the general bulleted reasoning
6 for that air-to-water heat pump with four-pipe fan coils
7 and DOAS. We see significant savings in air distribution
8 duct work. The DOAS system has a lower first cost than a
9 built-up AHU. Some additional costs for fan coils, but you
10 know, the first -- which is the first cost (indiscernible).
11 But the incremental cost shows like savings over the
12 baseline, and we added the water cost infrastructure costs.

13 Similarly for the large schools, baseline system
14 over the four-pipe fan coil. We did not add the avoided
15 gas infrastructure charge due to there's going to be
16 appliances and other end uses that would use gas here. But
17 the incremental cost savings is not negative for schools
18 but slightly more.

19 Alright, so similarly, less distribution duct
20 work. And although they have somewhat higher costs, the
21 less, this is true, the less distribution duct work with
22 the school layout compared to the offices, the reduced cost
23 savings from DOAS due to a much higher ventilation load per
24 square foot, and then gas is included.

25 Same thing looking at the incremental cost for

1 the medium offices here. In some climate zones, the cooler
2 climate zones, you have incremental cost savings that are
3 negative. Just to mention, the systems are less expensive.
4 And then in Climate Zones 6 through 11 and 13 through 16,
5 the costs are slightly higher.

6 Alright, so the VRF system, the cost savings is
7 from a single system for cooling and heating and, also,
8 some avoided duct work. The avoided gas infrastructure
9 cost is included, so about \$0.15 per square foot to \$0.40,
10 depending on utility and no other gas uses.

11 So looking at this bottom line with the benefit-
12 to-cost ratio for large offices, except for Climate Zone 1,
13 we see -- since the proposed system is less than the
14 baseline, that we have some infinite benefit to cost
15 ratios, except for Climate Zone 1, although we have a
16 measured cost that's affected much greater than one. And
17 then same with medium office. And then large schools,
18 because of the large ventilation loads and outside air
19 requirements, the benefit-to-cost ratio is greater than
20 one, but it's much lower.

21 Alright, so we have -- so as we mentioned that
22 we wanted to show some performance options, performance
23 approach options for compliance, so to compare it with our
24 2025 metrics, we have a packaged air-to-water heat pump,
25 four-pipe fan, DOAS is our baseline. To have systems that

1 could comply, we would need to use a natural gas boiler.
2 This is your minimum efficiency, I think 80 AFUE or 80 --
3 sorry, yeah, about 80 AFUE, I think, natural gas boiler
4 with four-pipe fan coils, dedicated air systems, heat
5 recovery ventilation. It would have to add the economizer
6 ventilation and a window measure.

7 So in theory, you're looking at an 82 percent
8 heat recovery ventilation. R-40 on the roof for some
9 envelope requirements. The U values of about 0.3 in
10 certain climate zones, and 0.35 in Climate Zone 5 and 0.44
11 in some climate zones to have -- sorry, 0.3 in most climate
12 zones for U values. We would have a shading coefficients
13 of 0.44, just to meet air specs.

14 For medium office, very similar. We have a VRF
15 and DOAS as a standard baseline. So we have natural gas
16 boilers to provide the heating hot water. We have fan
17 coils with split DX cooling, hot water, hydronic coils
18 with -- plus DOAS. And this is a slightly different system
19 with the fan coil that includes a split DX coil in it. But
20 these systems exist with the heat recovery ventilator and
21 some ventilation economizing measures and some water
22 improvements.

23 Along with large schools, we have four-pipe, to
24 compare with our four-pipe fan coil similar to the large
25 office, one big component or measure we used here was we're

1 looking at roof measures and some additional PV. Because
2 it's a office -- or I'm sorry, because it's a large school,
3 you have some additional areas that you can put PV. But
4 there is analysis underway. We're trying to understand
5 what it would take without PV to achieve the comparison
6 with our baseline.

7 Alright, so that's the current presentation for
8 the newly-constructed buildings. I guess we can take
9 questions and comments.

10 MR. BOZORGCHAMI: Thank you, Bach.

11 So I'm going to have Mikey go first because I
12 don't see any raised hands. I take that back. I got one
13 raised hand, and it's from Meg Waltner.

14 Please state your name and affiliation, please.

15 MS. WALTNER: Hi, can you hear me?

16 MR. BOZORGCHAMI: Yes.

17 MS. WALTNER: Hi. Meg Waltner from Energy 350 on
18 behalf of NRDC. A couple of comments and then a question.

19 First off, just want to say, you know, thank you
20 for this great work. Seeing you expanding the baselines
21 for nonresidential buildings into these multi-zone systems
22 and other building types, I'm really excited to see you
23 doing work in this area.

24 You know, I think it's going to take me,
25 personally, a little bit of time to digest the implications

1 of the specific system types that you all have proposed
2 and, you know, in comparison to the work that's been going
3 on by the CASE Team as well on non-res system types. So I
4 may have further comments on that in the future.

5 The comment that I wanted to make about that now
6 is just in addition to these baselines, in addition to
7 having sort of the one option that sets the baseline, that
8 it's really important to have multiple prescriptive options
9 for large electric systems in these non-res buildings. And
10 so I'd really encourage you, you know, looking at the work
11 that the CASE Team has done, to include additional
12 prescriptive options, even if they aren't the ones that are
13 used to set the baseline.

14 And sort of a related point is just emphasizing,
15 again, the importance of the modeling functionality in
16 CBECC com -- or sorry, in CBECC to be able to model all the
17 different configurations of large all-electric systems,
18 heat recovery fillers, using storage and not, just making
19 sure that all of those configurations are, you know,
20 available to the extent possible under the prescriptive
21 path and the performance path as we're moving into this
22 world where we're seeing many more large buildings having
23 all-electric systems, trying to increase those compliance
24 paths.

25 And then my question is, I'm curious whether you

1 looked at all at expanding to -- so the current
2 requirements for certain building types are only for
3 single-zone systems. Did you look at expanding these
4 multi-zone baselines to those building types that are
5 already covered by that single-zone heat pump requirement?
6 Like what happens to multi-zone systems in those building
7 types?

8 MR. TSAN: We haven't started looking at the
9 other building types yet, so we've mainly just focused on
10 large offices, medium offices, large schools. I guess the
11 current building types that do have, I guess single-zone
12 with heat pump options, we're not currently looking to
13 expand multi-zone to those other prototypes.

14 MS. WALTNER: Okay. Thanks, Bach.

15 MR. TSAN: At least not for this Code cycle.

16 MS. WALTNER: Okay.

17 MR. BOZORGCHAMI: Thank you, Meg. Thank you,
18 Bach.

19 We have Jonny here. Jonny, go ahead and state
20 your name and affiliation. Thank you.

21 MR. KOCHER: Thank you. Jonny Kocher here with
22 RMI.

23 I want to echo the praise that Meg had mentioned.
24 Thank you for looking at multi-zone heat pump requirements.
25 I think it's a great step forward.

1 I had one question, I believe in the 2022 Code,
2 at least in smaller schools, that the water heating was
3 also acquired to be a heat pump water heating baseline
4 because of higher water use in those building types. Is
5 there any consideration on expanding that to either large
6 schools or other building types?

7 MR. BOZORGCHAMI: Jonny, so the question is about
8 heat pump water heater? I'm just having a hard time
9 following your question.

10 MR. KOCHER: Sorry. I think, yeah, I believe in
11 the 2022 Code, correct me if I'm wrong, the service water
12 heating is required to be a heat pump water heater for
13 small schools; is that correct?

14 MR. BOZORGCHAMI: Yeah.

15 MR. KOCHER: Is there any discussion about
16 expanding that to other?

17 MR. BOZORGCHAMI: There has been some
18 discussions, but I'm not sure if we're going to be talking
19 about that today.

20 MR. KOCHER: Got it. Thank you.

21 MR. BOZORGCHAMI: Yeah.

22 So I don't see any more raised hands.

23 With that, I'm going to pass it off to Michael
24 Shewmaker to review the portal for questions and answers.

25 MR. SHEWMAKER: Sure. Yeah. Real quick, Payam,

1 Danny wants to add a little bit.

2 MR. BOZORGCHAMI: Wonderful.

3 MR. TAM: Sorry. In regard to the last question,
4 I think for this round, we don't have the bandwidth to
5 expand on the heat pump baseline, water heating baseline
6 for non-res. Unfortunately. We're just kind of running out
7 of time.

8 MR. SHEWMAKER: So we've got a few questions
9 online. Our first question is from Daniel Arvalo
10 (phonetic), and I apologize if I'm mispronouncing your last
11 name, but Daniel asked, "What are the square foot levels
12 that define a medium office versus a large office and large
13 school?"

14 MR. TSAN: Yeah. So at least for our prototypes,
15 a large office is upwards of 500,000 square feet. The
16 medium office -- I think the actual number is 490,000, but
17 I can get you -- I'll send you an email with the exact
18 numbers. Medium office, we're looking at 53,600 square
19 feet. And large schools at 210,900 square feet.

20 MR. SHEWMAKER: Great. Thank you, Bach.

21 Our next question is from Laura.

22 MR. BOZORGCHAMI: Mikey? Mikey?

23 MR. SHEWMAKER: Yes?

24 MR. BOZORGCHAMI: A quick question to expand on
25 that comment right there that Bach brought up.

1 The building prototype assumptions are also
2 within our ACM documents in our compliance documents, so --
3 our ACM reference manual, excuse me, so that information is
4 also there.

5 But go ahead.

6 MR. SHEWMAKER: Thank you, Payam.

7 So our next question is from Laura Petrillo-Groh.
8 "Does the large office prototype include a data center in
9 the basement?"

10 MR. BOZORGCHAMI: Eric, can you answer that
11 question?

12 MR. SHADD: Sure. Yeah. Pretty simple answer.
13 No, there's no data center in the basement.

14 MR. BOZORGCHAMI: Excuse me. Eric, state your
15 name and affiliation. Sorry about that.

16 MR. SHADD: Oh, I'm sorry. That's my bad. Yeah,
17 this is Eric Shadd with NORESCO, consultant to the CEC.

18 And there is no data center in the basement of
19 the large office prototype for the CEC prototypes, yeah.

20 MR. SHEWMAKER: Perfect. Thank you, Eric.

21 And our next question is from Josh Vasquez.
22 "Would the 2025 proposal eliminate air-to-air heat recovery
23 VRF systems?"

24 MR. TSAN: I don't believe it would be
25 eliminated. Compliance can still be achieved through, you

1 know, the performance approach, so not necessarily
2 eliminated. But we can look at the alternative heat pump
3 pathways and we'll review the potential of using this as we
4 move forward. Thank you for the comment.

5 MR. SHEWMAKER: And our next question is from
6 Karina Luo (phonetic). "Is heat pump mandatory for a food
7 retail facility in 2025 Code?"

8 MR. TSAN: No, not currently. It's not mandatory
9 for the food retail facility.

10 MR. PEREZ: Yeah. And just to expand on that
11 really quickly. Javier Perez, Energy Commission.

12 Yeah, our heat pump requirements are prescriptive
13 requirements and they'll continue to be prescriptive
14 requirements allowing for design flexibility via the
15 performance approach through the 2025 cycle and perhaps
16 beyond.

17 Thanks.

18 MR. SHEWMAKER: Thank you, Javier.

19 And our last online question is from Hilary Weitz
20 (phonetic).

21 "For the office prototypes, if the air-to-water heat
22 pump is sized to handle only 90 percent of the load,
23 do the models assume the other 10 percent of the load
24 is served by electric resistance saving in order to
25 claim AGIC savings?"

1 MR. TSAN: I guess the answer to the first part
2 of the question is, yes, the electric resistance is meant
3 to be the ten percent that handles the -- or handles the
4 ten percent of the load.

5 I guess I'm not sure I know the answer. Eric
6 Shadd, could you comment on that if the -- if it's used to
7 claim the avoided gas infrastructure costs?

8 MR. SHADD: Sure. Yeah. Eric Shadd. Sure.
9 Eric Shadd, NORESKO, consultant to CEC.

10 So I might get a little more specific and say
11 that it's 90 percent of the hours it can handle the load
12 and then the other 10 percent of the hours.

13 But I think the question here is like, are we
14 using an electric resistance heating so that we can have an
15 all-electric building so that we can claim the AGIC
16 savings? And I would say, yeah, that's a part of the
17 reason that we used an electric resistance boiler versus a
18 natural gas boiler. The AGIC savings were not huge, but
19 yeah, yeah, we wanted to see if we could go all-electric
20 and we were able to do that with that.

21 So hopefully that answers the question.

22 MR. BOZORGCHAMI: Thank you, Eric.

23 We have one anonymous comment that came in and
24 they're asking if the session recording will be posted
25 anywhere for viewing at a later date, and the answer is,

1 yes. It won't be done by tomorrow but it will be done here
2 in the next week.

3 And then, again, this session is also being
4 recorded and it's going to be transcribed and that
5 transcript will be available in a few weeks, so thank you.

6 At this time, I don't see any other raised hand
7 or any questions and answers in the portal.

8 So with that, Bach, if you're ready, we may just
9 jump into the alteration section of nonresidential.

10 MR. TSAN: Let me show my screen. Alright. Good
11 afternoon -- good morning. Sorry, I'm in between, I guess,
12 us and lunch with our --

13 MR. BOZORGCHAMI: Yeah. I'm going to jump in
14 real quick.

15 Right after this alteration discussion on
16 nonresidential, we're going to take a quick, maybe 45 to an
17 hour, lunch break.

18 MR. TSAN: Great. Thank you.

19 So good morning again. So here to talk about the
20 proposal for a heat pump requirement for single zone
21 rooftop air conditioning alterations. So we covered new
22 construction just a few minutes ago. Now we're jumping
23 into alterations. And again, I'm Bach, I'm a Senior
24 Mechanical Engineer, Building Standards Branch.

25 Alright, quick general brief, similar format,

1 baseline review. We'll talk about the prescriptive Code as
2 it applies, look at the proposal, savings methodology,
3 impact results, cost analogist, and the last bullet for
4 larger systems, and we'll cover that when we get to that
5 slide.

6 Alright, so looking at the current Code, which is
7 to show just the exception for a heat pump is not required
8 in an alterations application. The exception is for
9 alterations that does not have to comply with the heat pump
10 requirements in section 140.(4)(a)(2). So the current Code
11 shows -- the proposal is attempting to -- we're attempting
12 to modify this.

13 So methodology, this is the -- ohm, I'm sorry, I
14 skipped a slide.

15 So this is the proposed requirement to the, for
16 Title 24, Part 6, the California Energy Commission, we're
17 proposing the Code changes for nonresidential buildings, so
18 we're looking at package units below 65,000 BTUH. So we
19 are prescriptively requiring gas-fired systems, gas-fired
20 rooftop units upon replacement to be a heat pump-based --
21 to be a heat pump-based in the alteration.

22 Alright, methodology, similar to new
23 construction, newly-constructed buildings, you know, we
24 have the same (indiscernible) looking at long-term system
25 costs and positive cost-to-benefit ratios. Here, a couple

1 of steps we looked at, you know, over the 30-year period to
2 calculate the general benefits or long-term cost factors
3 using net present value savings over 30 years, looking at
4 the incremental costs and cost ratios.

5 Alright, so this is the software used, CBECC 2025
6 Research Version and EnergyPlus. We are looking at these
7 two prototypes, the small office and medium office
8 prototypes for existing building in the 2000s. These are
9 the current results that we have for these two prototypes.
10 We also are additionally looking at small schools.

11 Alright, and this is just our main key
12 assumptions, CBECC alterations, you know, lighting at 0.8
13 watts per square foot with lighting controls in the small
14 offices, envelope at Title 24, 2005. Baseline, the HVAC
15 system, single-zone air conditioning with less than 65,000
16 BTUH. The SEER level is 14 with an HSPF (phonetic) of 8.2.
17 In Climate Zones 1 to 15, we have electric resistance, and
18 in the Climate Zone 16 it's dual fuel, so furnace for
19 supplemental heating.

20 Alright, so ventilation, CBECC default, Title 24
21 at 0.15 CFM per square foot.

22 So the demand, we have an economizer control with
23 the differential dry bulb. And then for DCV, it's modeled
24 for Title 24 requirements with the larger at the people-
25 based at 15 CFM per person. And then the area based

1 ventilation at the office is zero, but retail is 0.2, and
2 control to maintain 1,000 PPM in the spaces.

3 And similarly for retail, looking at 2016
4 prescriptive area category, electric resistance in Climate
5 Zone 1 through 15 and 16, dual fuel. And the supply of
6 variable speed control is down to 50 percent airflow.

7 And slide eight here, we're looking at the
8 results for -- from our initial runs, looking at annual
9 savings and negative savings in 1 through 5 and 11 through
10 16 in electricity, mainly because of this substitution from
11 electric to gas. We have some fairly significant natural
12 gas savings, long-term system cost savings. So in the next
13 graph, we'll see that we have LSE savings for 1 through 15,
14 but 16, there is a challenge there. And then we have
15 annual source savings on the last column.

16 Alright, so graphical for long-term, the
17 prescriptive requirements is if you're going to -- is to
18 put in the heat pump. So we do, in this graph, we're
19 looking at, for all the climate zones, the heat pump is --
20 for Climate Zone 1 through 15, the heat pump performs
21 better than the incumbent, which is the a/c rooftop unit
22 with a gas pack. However, in 16, the heat pump performs
23 worse. So we've also -- very similarly for medium retail,
24 we have very similar results with Climate Zone 16, the heat
25 pump not being able to get above the zero line there.

1 Alright, well, I guess if you're staring at these
2 graphs, you're going to realize that the measures, that you
3 either put in the heat pump, and you can put in any of
4 these other options here. They would be the heat pump, so
5 the gas economizer, gas with DCV, so in theory, there is a
6 gas pathway for these systems.

7 So overview of the LSE results, the heat pump
8 shows LSE savings with the gas pathway, except for Climate
9 Zone 16, we have the mixed-fuel pathway with the design
10 specified in each of the measures or each of the climate
11 zones. There's an economizer for all unit sizes, even at
12 54,000 or greater than 54,000. As you know, we -- the
13 threshold is at 54,000 for alterations. Newly-constructed
14 buildings for 2022 is 33,000. Variable-speed fan operation
15 and DCV. You know, the heat pump reported slightly higher
16 here because, you know, based on the federal (phonetic).
17 Heat pump is 14, while the DX cooling is 13.

18 So LSE doesn't offer much advantage on the heat
19 pump heating versus natural gas, but the heat pump
20 performance degrades in the colder winter days.

21 And this, we had a memo submitted to the docket
22 by the advocates, the NRDC, Earth Justice, Rocky Mountain
23 Institute, Sierra Club. It was very instrumental in
24 helping us with this analysis. But this quick graph shows
25 that in terms of cost, the gas-fired systems, typically

1 across the range of between two to five tons, the gas-fired
2 systems are slightly more expensive than the heat pump.

3 So total incremental costs, you know, we need to
4 continue doing our cost analysis, but we're looking at
5 speaking to some wholesalers and providers for these
6 products, looking at the cost delta between heat pump RTUs
7 and gas DX units between the products and lines, and were
8 looking at, I guess, currently, heat pump RTUs with the
9 electricity shows cost savings versus gas.

10 But this is subject to the low NOx burner
11 requirement. So in the areas that you see with the dark, I
12 guess, purple, it has an ultra-low NOx requirement, which
13 could add \$13.00 to \$400 per ton, depending on the two to
14 five ton range.

15 Alright, so the incremental costs, things we have
16 to take into account, crane lift, but between both the
17 total incremental costs between the a/c freighters
18 (phonetic) and the heat pump. Similarly, you have crane
19 lifts, you have curb adapters, weight requirements. There
20 may be some additional electro-resistant heating required
21 on heat pumps for defrost controls, but these can have
22 impacts on existing buildings. And we'll have to look at
23 how do we address the possible increased load that accounts
24 for electrical resistance.

25 So this covers units below 65,000. We found that

1 based on shipments, generally looking at AHRI shipments,
2 most of the systems are from 65,000 and below. So that
3 covers, I believe, at least upwards of greater than 80
4 percent of the equipment in the market.

5 Initially, we don't have data currently. We're
6 still exploring the feasibility of systems greater than
7 65,000 BTUs, so larger than five-ton systems. The same
8 scope, non-res buildings, but we're looking to build
9 voluntary Codes for electrically-efficient driven heat
10 pumps, gas-fired space heating efficiency package. So the
11 methodology is analyzing currently 5 to 20. I think it
12 could be up to 20 tons. You know, we're doing simulations
13 with small office, retail prototypes.

14 Additional research needed to speak with
15 designers contracts, but this is --currently, we're at a
16 fairly challenging attempt at getting there, looking at
17 larger systems. And we're trying to limit most of the
18 measures to that contractor that related to mainly to the
19 HVAC system, but we'll kind of explore further as we
20 continue.

21 Yeah, so this, we're looking at the -- these are
22 looking at continued research for heat pump baselines for
23 small schools, but the exploration of, you know, their top
24 units for Part 11. So I probably wasn't clear with the --
25 the larger systems is for the voluntary Part 11 side, not

1 mandatory that are scheduled for Part 6.

2 And that's it for alterations. I will open up
3 for questions and comments.

4 MR. BOZORGCHAMI: Thank you, Bach.

5 So with that, anybody want to raise their hands?

6 If not, I'm going to punt it back to Javier Perez
7 to go over the question and answer portal and start with
8 Mr. Robert Glass.

9 MR. PEREZ: Alright. Thanks, Payam.

10 Robert Hassis, who asked, "How do you plan to
11 address emergency replacement in the instance -- in this
12 instance, replace gas-fired with heat pump rooftop?"

13 MR. BOZORGCHAMI: I apologize, Javier. You're
14 not coming in. You're coming in muffled.

15 MR. PEREZ: I'll try one more time. How about
16 now?

17 MR. BOZORGCHAMI: Still muffled. Let me read it
18 real quick. Sorry about that.

19 Robert Hassis is asking, "How do you plan to
20 address emergency replacement in this instance, replace gas
21 fired with a heat pump rooftop?"

22 MR. TSAN: Yeah, thanks for the comment -- or the
23 question. We are still in the early stages of kind of
24 looking at all the situations, but we'll have to separately
25 address emergency replacement. So we're thinking through

1 it but we're -- we need to figure out the -- all the
2 situations in which a replacement -- but I think by --
3 further research is needed, but I think by the next
4 workshop, we'll look to provide an answer for this.

5 MR. BOZORGCHAMI: Okay, Javier, do you want to
6 try one more time with Gina Rodda's question?

7 MR. PEREZ: Can you hear me now?

8 MR. BOZORGCHAMI: No. I'll take over. No
9 worries.

10 MR. PEREZ: So sorry.

11 MR. BOZORGCHAMI: So Gina Rodda asks,
12 "As we have seen, heat pump equipment used for space
13 heating typically needs to be a larger size than just
14 considering the cooling load. I am assuming this
15 65,000 BTU trigger is based on existing a/c sizing."

16 And then another question that she asks is,
17 "Would this apply to packaged and split DX systems?"

18 MR. TSAN: Okay. Yeah. Thanks.

19 So hi, Gina, this is Bach, California Energy
20 Commission.

21 Yes, so the BTU trigger for 65,000, I'm not
22 necessarily sure if it's a trigger, but the -- we're
23 looking at mainly just 65,000 as a kind of that threshold
24 for between smaller, the quote unquote smaller systems
25 versus larger ones. I guess looking at larger systems,

1 there are additional requirements. They may be slightly --
2 their cost might be slightly higher. There are a few other
3 concerns we're looking at.

4 But I don't know if I answered your question
5 properly, but --

6 MR. BOZORGCHAMI: Bach, Gina has her hand raised,
7 so I'm going to --

8 MR. TSAN: Okay. Go for it.

9 MR. BOZORGCHAMI: Go ahead, Gina.

10 MS. RODDA: Hello. This is Gina Rodda from Gabel
11 Energy, and I thought I wrote that one so nicely, too.

12 So as we have seen when we are transitioning from
13 gas furnace to heat pump space heating, typically that
14 equipment needs to be sized higher to be able to meet the
15 heating load when typically we are sizing these systems
16 based on the cooling load. So we have to consider, is that
17 65,000 BTUH threshold for this requirement, is that based
18 on the existing air conditioning size that's being changed
19 out or is it based on what the size will be based on what
20 the system needs to be sized to meet the heating load?
21 And then I have concerns, what's going to happen with
22 existing ducting and so on and so forth.

23 And then, also, is it different, whether we're
24 talking packaged, which is much easier to do this as long
25 as we consider the duct sizing, versus a split DX system?

1 Already the industry has a lot of issues when they're
2 trying to apply, say, especially the economizer
3 requirements when we're talking about changing out split DX
4 systems.

5 MR. TSAN: Yeah, so for the DX, we will look into
6 it. I think we'll have to review its applicability into
7 Part 6.

8 MR. BOZORGCHAMI: Okay, so very much stay tuned,
9 Gina. We'll have to get an answer back to you on that one.
10 That's a good question.

11 On the a/c sizing, is Xia on the call from
12 NORESKO? Can he answer that question?

13 Yeah, Xia and Jon are both on.

14 MR. BOZORGCHAMI: Or Jon, yeah.

15 Could one of you guys answer that question,
16 please?

17 MS. FANG: Okay, maybe I'll take a stab at it.
18 Xia Fang from NORESKO, CEC consultant.

19 In regards to Gina's question, I think it
20 depends. Some climates, actually many climates in
21 California for commercial buildings, the cooling load
22 actually is much larger than the heating load, except a
23 couple of the kind of Climate Zone 14, Climate Zone 16.

24 And I would say, when we do this replacement,
25 certainly it's not going to be a true like-for-like

1 replacement, because you do need to consider the load. But
2 if the load actually -- sorry, but if the equipment size
3 exceeds 65 MBH, then this requirement no longer applies, if
4 that makes sense.

5 MR. BOZORGCHAMI: I think at the bottom of all
6 the discussion, I think, Gina, we have to respond to you
7 and we'll have a side conversation with you on that,
8 because it's a good question. We need to think about that
9 a little bit more.

10 MS. FANG: And we haven't really done the
11 analysis on the split DX system yet. That's, yeah, moving
12 forward.

13 MR. BOZORGCHAMI: That's to be determined still,
14 yeah. Thank you, Xia.

15 With that, I'm going to move on to Dan
16 Waldenhaus's (phonetic) question.

17 "On your slide number seven, you're showing the SEER
18 and the EER -- excuse me, SEER and HSPF instead of the
19 SEER2 HSPF, and no mention of the EER."

20 I guess he just wants to make sure that the
21 intent was SEER and HSPF and not the more modern rating
22 classifications that were --

23 MR. TSAN: Yeah, I thank you for that. I don't
24 believe the SEER2 and HSPF for rooftop units are in effect
25 yet.

1 Xia, is that -- could you comment on that?

2 MS. FANG: As of right now, we are going with the
3 DOE minimum efficiency, and that is looking at SEER and
4 HSPF. We haven't really encountered a SEER2 for these
5 rooftop units yet, for these single-zone rooftop units yet,
6 let me just put it this way.

7 MR. BOZORGCHAMI: Okay. Thank you. Thank you.

8 We have another question from Luke Morton. And
9 Luke is asking about the morning's modeling work. "Is
10 there a place where staff can put the prototype models used
11 for the CBECC-Res analysis?"

12 We will. It will be done at a later time. We
13 will be documenting those and that information will be
14 available for the public to look into, evaluate, and
15 actually do their own analysis if they wish to, so stay
16 tuned. That's going to come here shortly.

17 Timeline? I don't have a time schedule yet for
18 that one.

19 Okay, then the next question Robert Glass asks
20 is, "The lead times on large equipment are way out there."

21 Robert, can I unmute you and have you elaborate a
22 little bit on that, if I can? Oh, there we go. Okay. Go
23 ahead, Robert. State your name and affiliation and --

24 MR. GLASS: Robert Glass, G-L-A-S-S.

25 MR. BOZORGCHAMI: Oh, I apologize. I

1 accidentally muted you.

2 MR. TSAN: And I think the lead time comment is a
3 comment about just larger systems than 65,000.

4 MR. GLASS: Can you hear me now?

5 MR. TSAN: Oh, yes.

6 MR. BOZORGCHAMI: Yes.

7 MR. GLASS: Okay. Yeah. No, that was a follow-
8 up to my earlier question about the replacement of gas
9 rooftop units with heat pump rooftop units, is that the
10 larger equipment, the lead times on those things are way
11 out there. So from an emergency replacement standpoint,
12 you don't have the timing to go ahead and get replacements
13 that way, so that's just kind of as a carry-on.

14 Additionally, as an issue, more so on the
15 commercial side than the residential side, that the lead
16 times on commercial equipment, if you're changing system
17 types, is going to be the lead times can be out there
18 three, four, five, six months from lead times for
19 equipment. So that has to be done on a planning side. So
20 from a replacement standpoint, that's going to be a huge
21 challenge to put that in as a requirement.

22 MR. TSAN: Alright. Thank you. We'll take that
23 into account. When we speak with the manufacturers and
24 distributors, we'll try to get at our additional survey
25 question of what lead time on equipment is. Appreciate

1 that.

2 MR. BOZORGCHAMI: Great. Thank you, Robert.

3 We have another comment from Luke Morton, and his
4 comment is,

5 "Emergency replacement, as he believes, is a
6 market issue, not a Code issue. For example, locally,
7 for single-family water heating replacement, some
8 plumbers are using temporary water heaters to put in
9 while permits are being pulled for heat pump
10 alterations. This makes it possible to provide hot
11 water while still getting permits and getting
12 incentives."

13 Thanks for the comment, Luke.

14 And we have another comment from Joe Cain.

15 "Across different occupancies, I think emergency
16 replacement of appliances could be addressed with
17 exceptions. Under certain conditions, emergency
18 replacements that include multiple trades, such as
19 pulling additional circuits, could lead to time delays
20 that could be detrimental to occupants during the
21 period of extreme weather conditions."

22 That's a good point, Joe. Thank you.

23 Gina Rodda has three or four comments, and she
24 has her hand raised, so I'm going to unmute you, and please
25 state your name and affiliation, and take care of those

1 comments. Thank you.

2 MS. RODDA: So sorry, my typing skills were
3 horrible. Gina Rodda, Gabel Energy.

4 For this type of equipment for commercial is
5 typically three-phase, which is why it's not subject to the
6 new SEER2 HSPF2 requirements, though sometimes I have seen
7 nonresidential buildings use one-phase equipment, in which
8 then it would be subject to those new efficiency
9 requirements. So that should be considered when you are
10 developing, further developing this proposal.

11 MR. BOZORGCHAMI: Thank you, Gina. We'll take
12 that into consideration. Thank you.

13 Next we have an anonymous comment that came in,
14 and it says, "SEER2 takes effect on January 1st, 2023."

15 And then the same attendees provided a website
16 link to that.

17 Then we have Luke Morton, and I think he's
18 saying, "Robert Hassis' point on nonresidential heat pump
19 lead time is a good one."

20 And I think I'm looking at Bach right now, and
21 he's shaking his head, and I think we need to look into
22 that, and we'll get back to you guys.

23 We will be having a second workshop at a later
24 time, at the latter part of August, on the same topic, so
25 we'll probably be able to answer those questions at that

1 time.

2 I have a raised hand from Jonny Kocher. I'm
3 going to unmute you and put your station and affiliation,
4 please.

5 MR. KOCHER: Thank you. Jonny Kocher with RMI.

6 I just wanted to, I'll make a brief, but yeah,
7 just wanted to say that this is moving in the right
8 direction. Most cost-effective time to be fuel switching
9 is at time of replacement, and really pleased to see the
10 CEC doing all this great research, moving towards it. And
11 glad to see that the threshold is 65,000 BTU per hour.

12 Thank you.

13 MR. BOZORGCHAMI: Thank you, Jonny.

14 Meg, I'm going to unmute you. Go ahead and state
15 your name and affiliation. Thank you.

16 MS. WALTNER: Meg Waltner, Energy 350 on behalf
17 of NNEC.

18 Yeah, just to echo what Jonny said, strongly
19 support this and really great to see you all moving forward
20 on it. And I think for nonresidential buildings in
21 particular, you know, as you were discussing with the
22 cooling load dominating, I think it's a much more
23 straightforward case for the units and the sizes that
24 you're looking at and for the building types you're looking
25 at, and just a low-hanging fruit opportunity to install

1 heat pumps that are needed to reduce emissions throughout
2 California. So thank you for all the work on this and on
3 the proposal.

4 MR. BOZORGCHAMI: Thank you, Meg.

5 I don't have any raised hands, and I don't have
6 any questions and answers in the question and answer
7 portal.

8 So with that, how about if we take a quick lunch
9 break and be back here by 1:15, if that's okay? Let's take
10 about an hour lunch break and we will reconvene at 1:15.
11 So with that, thank you so much.

12 And then when we come back from lunch, we will be
13 talking about photovoltaics and energy storage, and go into
14 a question and answer session. Thank you. Thank you.

15 (Off the record at 12:18 p.m.)

16 (On the record at 1:15 p.m.)

17 MR. BOZORGCHAMI: So good afternoon, everyone.
18 My name is Payam Bozorgchami. We're back again after
19 lunch. And we're going to be talking about battery and
20 energy storage this afternoon.

21 Muhammad Faisal -- Muhammad Saeed is going to --
22 our Senior Electrical Engineer within the Building
23 Standards Branch is going to be talking about PVs and
24 energy storage, so --

25 MR. SAEED: Good afternoon, everyone. Everyone

1 can hear me; right? Okay. Good afternoon, everyone. I
2 hope you are doing great. This is Muhammad Faisal Saeed.
3 I'm a Senior Electrical Engineer from Building Standards
4 Branch. Today, we are going to talk about the proposed PV
5 and energy storage changes in the 2025 Energy Code.

6 Okay, so today, we are going to touch upon the
7 following topics. First one is the 2025 single-family PV
8 requirements proposed changes. Then we will talk about the
9 2025 low-rise multi-family PV requirements proposed
10 changes. After that, we will talk about nonresidential and
11 high-rise multi-family PV requirements proposed changes.
12 Then we will talk about some of the cost effectiveness
13 updates that we did for all the work.

14 After that, we will touch upon the
15 (indiscernible) requirements and what changes are we doing
16 there. And there is also some kind of an informational
17 section on energy storage capacity in practice. Then we
18 have some minor updates in energy storage-ready
19 requirements. And, at last, a very minor update in 2025
20 determinations.

21 One thing I would like to say, that we are going
22 to stop for question and answers after every topic because
23 there's a lot to cover in this PV plus storage, so we will
24 start question and answer after each and every topic.

25 Thank you.

1 So the first one is the 2025 single-family PV
2 requirements proposed changes. The first update is about
3 updating the equation for single-family PV requirements.
4 We are going to update the equations based on the weather
5 data and LSE metric. One thing we want to make sure is
6 that the PV sizing requirement will be based on the mixed-
7 fuel building, not the all-electric building. And by
8 mixed-fuel building, we mean gas, space, water, heating,
9 and cooktop slash laundry. Yeah, we don't want to base our
10 requirements on the all-electric building because we don't
11 want to incentivize the all-electric construction.

12 Okay, not much change, but the second one is, is
13 that we are going to do an upper bound of the PV
14 requirements. In the existing requirement, as you can see,
15 where we had the PV system, we were saying that you can
16 install the maximum PV system that can be installed in the
17 solar access roof area. However, in this one, we are going
18 to make some changes.

19 We are suggesting something that is quite aligned
20 with nonresidential requirement. There will be a number
21 which we are saying X for now because we are still doing
22 the analysis and we are working on the calculations for
23 now. That number will be multiplied by SERA (phonetic).
24 Just like we have the requirements in the nonresidential,
25 we have SERA times 14. We will have SERA times X, and that

1 X will be different for different sloped roofs. And the
2 reason we are doing that is most of the time we have the
3 sloped roof on the single-family, but in case we have a
4 flat roof or a low-sloped roof, then we will have a smaller
5 SERA times that number.

6 Okay, the third update is that we are going to
7 make some changes here. In the performance approach, our
8 standard design was based on the annual load of the mixed-
9 fuel building as determined with the CBECC-Res simulations.
10 In the nonresidential in 2022, we did not do the
11 simulation. Our prescriptive requirements were based
12 strictly on the prescriptive equation. We are going to
13 align in single-family with that. So our standard design
14 will be based on the prescriptive equation, which is
15 described above. And the equations will still assume the
16 mixed-fuel building.

17 Okay, as far as the self-utilization credit is
18 concerned, it will still be available for 2025. However,
19 we are going to make some adjustments based on the weather
20 conditions and LSE values. For those who don't know, under
21 2022 Energy Code, self-utilization credit was given once a
22 minimum of 5 kilowatt-hour battery is installed.

23 Okay, so any questions so far about the single-
24 family proposed changes?

25 MR. BOZORGCHAMI: So, Muhammad, before we go into

1 the discussion, one thing that you said earlier was we
2 don't want to incentivize electrification. I think you
3 meant to say --

4 MR. SAEED: Yeah. Yeah.

5 MR. BOZORGCHAMI: -- we don't want to
6 disincentivize.

7 MR. SAEED: Disincentivize, sorry, yeah.

8 MR. BOZORGCHAMI: Yes.

9 MR. SAEED: Yes. That's exactly what I meant.

10 MR. BOZORGCHAMI: Yeah.

11 So with that, I think we have one question from,
12 in the Q&A, the question and answer portal from Gina Rodda.
13 And we're getting raised hands here.

14 So let me start with Joe Cain with the raised
15 hands, and we'll go back into the Q&A afterwards.

16 Go ahead, Joe, state your name and your
17 affiliation.

18 MR. CAIN: Thank you, Joe Cain, C-A-I-N, Solar
19 Energy Industries Association.

20 In the third row, if you change the standard
21 design to equal the prescriptive equation, aren't you then
22 giving zero credit to PV? And I guess that's one question.

23 And then my other question is, the PV system size
24 requirement still assume a mixed-fuel building. I can
25 understand your statement, too, that you don't want to

1 disincentivize an all-electric building. I do not feel
2 that that disincentivizes an all-electric building. I feel
3 that having the PV system size requirement consistent with
4 the base requirement of heat pump just would be more
5 consistent overall. We know where we're going with this.

6 And one of the concerns that I have heard from
7 the public is that they see new buildings, new residences
8 with PV on them, and they're asking me, why do I see only
9 two or three PV panels on a new building, which seems
10 undersized?

11 So I think as we move to all-electric, and we
12 know that there's going to be greater loads but we still
13 have these tiny PV systems on new buildings, we're sort of
14 heading -- that is not heading in the right direction. I
15 think that making it consistent with the base case would be
16 more appropriate.

17 So those are my questions.

18 MR. SAEED: So, thank you for your question.

19 So your first question was about my third row?

20 MR. CAIN: Yes.

21 MR. SAEED: I would like to say that when
22 demonstrating compliance via the performance approach, the
23 proposed design still allows for a lower proposed PV system
24 for compliance where building total LSE is reduced as a
25 result of efficiency design. The standard design will not

1 change, but efficiency designs are still accounted for.
2 And remember, we have already implemented this approach in
3 nonresidential and high-rise multifamily in 2022.

4 So basically, if you want to reduce your PV
5 requirements, you can increase your efficiency compliance.
6 And then, yeah, you can put a smaller proposed PV.
7 However, your standard design PV will still remain the same
8 as a prescriptive equation.

9 MR. CAIN: If I may respond to that real quickly?
10 Joe Cain and SEIA.

11 I don't think the problem is wanting a smaller PV
12 system than the already small system. I think the problem
13 is trying to get new buildings to have a serviceable PV
14 system that attempts to, you know, satisfy the loads.

15 So, for instance, I would ask the direct
16 question, if I use a larger PV system, what compliance
17 credit do I get for installing a larger than prescriptive
18 minimum PV system? That's the question that goes with
19 this.

20 MR. SAEED: So your total compliance will
21 increase. However, without the battery, we do not,
22 basically, decrease or allow you to, basically, use your PV
23 compliance with efficiency measures; right? So this is
24 what you can do.

25 And one thing I would like to mention here, that

1 this is the minimum PV requirement. You can always put
2 more PV, as much as allowed by your utility. These are
3 just the minimum standards; right?

4 And to answer your all-electric question here,
5 and to answer your all-electric question here, even though
6 you are right, that with all-electric, your PV requirements
7 need to go high, however, as you know, with the NEM 3.0, if
8 you are putting a lot of PV on that one, and then you are
9 doing a lot of excessive exports, right, which, in turn
10 will not be so much cost-effective.

11 However, like I said, that you are allowed to put
12 as much PV as allowed by the utility, as long as it is more
13 than the minimum PV mentioned in the compliance.

14 MR. CAIN: Okay. I'm sure we'll be talking more
15 about that. Thank you.

16 MR. SAEED: Sure.

17 MR. BOZORGCHAMI: Sure.

18 MR. SAEED: Does someone have to add from the
19 CEC?

20 MR. BOZORGCHAMI: Thanks, Joe.

21 So I'm going to -- we've got the next caller,
22 Misti, I'm going to allow you to speak, and go
23 ahead and state your name and your affiliation, and please
24 spell your last name for the record.

25 MS. BRUCERI: Misti, you have to unmute. There

1 you go.

2 MS. BRUCERI: Hi, Payam. I did not actually
3 request to speak. I apologize. I pushed that
4 accidentally. I apologize.

5 MR. BOZORGCHAMI: No worries. No worries.
6 You're good. Thank you.

7 MS. BRUCERI: Sorry about that.

8 MR. BOZORGCHAMI: Thank you. Thank you.

9 So I don't see any other raised hands.

10 With that, I'm going to pass it on to Michael
11 Shewmaker to review any questions in the question and
12 answer portal.

13 MR. SHEWMAKER: Yeah. Thanks, Payam.

14 We got one question in the Q&A from Thomas
15 Mertens at PG&E.

16 "To what extent is the CEC working with the CPUC to
17 understand whether the proposals put forth in the
18 Green Access Programs proceeding at the CPUC satisfy
19 requirements of the Title 24 Community Solar
20 Alternative Compliance option?"

21 MR. TSAN: Okay, so we are definitely working
22 with CPUC on the compliance with the Title 24 10-115 for
23 Community Solar Program. However, we are -- and let me get
24 your question again -- we are not aware of any green access
25 programs. I think it is related to Community Solar Program

1 as well.

2 So we are working and we are doing the
3 collaboration with CPUC so that the new Green Tariff
4 Program or the new Community Solar Program will comply with
5 our 10-115.

6 And, also, I think Bill Pennington will reply to
7 that Community Solar question.

8 MR. PENNINGTON: So sorry. Could you repeat the
9 question? I didn't hear all of it. Sorry. The commenter
10 who asked the question?

11 MR. SHEWMAKER: Yeah.

12 MR. PENNINGTON: Go ahead.

13 MR. SHEWMAKER: So the comment was,
14 "To what extent is the CEC working with the CPUC to
15 understand whether the proposals put forth in the
16 Green Access Programs proceeding at the CPUC satisfy
17 requirements of the Title 24 Community Solar
18 Alternative Compliance option?"

19 MR. PENNINGTON: So, yeah, as Muhammad said,
20 we're having conversations with the CPUC staff and making
21 them aware of all the requirements that we have, and, you
22 know, responding to any questions that they have on that.

23 MR. BOZORGCHAMI: So for the record, that's Bill
24 Pennington. He's the staff member --

25 MR. PENNINGTON: I'm sorry.

1 MR. BOZORGCHAMI: -- with the Energy Commission.
2 Sorry about that. It's alright.

3 MR. PENNINGTON: I apologize.

4 MR. BOZORGCHAMI: Thank you, Bill.

5 So we have another, Mike?

6 MR. SHEWMAKER: Yeah. Our next question is from
7 Luke Morton. "Can you give a sense of the watts per square
8 foot factor depending on slope? How will those factors
9 vary?"

10 MR. SAEED: Yes. Okay, so if you are aware of
11 our 2022 nonresidential and high-rise multi-family
12 requirements, those requirements say that, let's say if
13 your roof space is limited and you get a very larger
14 kilowatt DC requirement from the equation, then you have to
15 look at your solar access roof area. In that one, we have
16 the SERA times 14; right? And that SERA times 14 is based
17 on, usually, the flat roof, or I should say technically the
18 low-slope roof. In that low-slope, we assume like ten
19 degree tilt, right, and the shading avoidance.

20 However, if your roof, like for single-family,
21 like 99 percent of the time maybe, is a sloped roof, then
22 you are putting your panels flat with the surface; right?
23 In that case, as compared to the flat roof, you are
24 covering more area of the solar access roof area, so your
25 SERA times that number, that number will increase.

1 So, for example, right now we have SERA times 14
2 because of the flat roof, if you have a sloped roof, it
3 should be -- and we are still working on the number -- it
4 might be around SERA times 17 or 18.

5 The reason we are going to go -- we are doing
6 those changes, because in the existing requirements, we had
7 what I call the max fit, in which we are saying that just
8 put the maximum PV you can put on the roof. When we say
9 that, we are not kind of controlling the efficiencies as
10 compared to when we are basing it on the solar access roof
11 area times the number. Then we are setting some efficiency
12 requirements in the background for the minimum bound,
13 right, of the PV requirement.

14 Hope that answers the question.

15 MR. BOZORGCHAMI: So one second, Muhammad.

16 Luke Morton just raised his hand, so let me allow
17 him to chime in and have a discussion on this.

18 MR. SAEED: Okay.

19 MR. BOZORGCHAMI: Go ahead, Luke.

20 MR. MORTON: Yes, this is just some --

21 MR. BOZORGCHAMI: Sorry, Luke. State your name
22 and affiliation.

23 MR. MORTON: Yes. Luke Morton, M-O-R-T-O-N, with
24 Morton Green Building. I'm also associated with CABEC,
25 California Association of Building Energy Consultants.

1 Just some food for thought on this proposal is,
2 I'm just wondering, it sounds like it might complicate the
3 SERA analysis. I understand where it's coming from, but
4 I'm wondering if maybe an easier proposal would be just to
5 put limits on that zero calculation with respect to slope?
6 Just because we see a large variety of slopes in some of
7 our projects. You know, we can have, you know, some areas
8 of flat roof. You know, I've seen projects with every 1-
9 12, 2-12, and 3-12, and 4-12, and 6-12, and 8-12, and 12-
10 12, and it just like, it complicates the analysis.

11 And I'm wondering if it would just be good enough
12 to have some bounds on the watts per square foot from sort
13 of more general categories? Given that most projects are
14 done, it's more important for the (indiscernible) pathway,
15 given that currently, at the moment, if we have a
16 traditional vented attic, then we only have one option for
17 a given attic, one input for the slope.

18 And so it would definitely add a bit of burden to
19 the modeling effort to essentially model for every one of
20 those slopes to get the SERA to calculate correctly to
21 model 12 different attics, even though it's one single
22 attic. And I don't know how much you're getting out of it,
23 given that, essentially, what you're trying to do is
24 account for the flat, you know, the sort of horizontal
25 aperture of that PV system.

1 Anyway, maybe I'll leave it at that and leave my
2 comments for later.

3 MR. BOZORGCHAMI: So, Luke, this is Payam. I'm
4 going to ask if you could submit your comments in writing
5 to us? Because these are some important topics that you
6 brought up. And we need to really sit down and think about
7 that.

8 MR. MORTON: Sure.

9 MR. BOZORGCHAMI: Or --

10 MR. MORTON: Yes. Will do. Thank you.

11 MR. BOZORGCHAMI: -- or we'll have a side
12 discussion, because you brought up some good concerns.

13 MR. MORTON: Yeah. Thank you.

14 MR. BOZORGCHAMI: And thank you.

15 MR. SHEWMAKER: Okay. And next up, we have a
16 comment from Nick Brown, and he says, "Agree. These four
17 single-family PV proposals clean up some of the issues
18 we've seen at Energy Code Ace."

19 Thank you, Nick.

20 MR. SAEED: Thank you, Nick.

21 MR. SHEWMAKER: And then the next two questions
22 and comments that we have are actually for multifamily, so
23 I don't know if we want to hold on to these until we reach
24 the multifamily portion or if we want to address them now.

25 MR. BOZORGCHAMI: Ray, do you mind if we hold off

1 and maybe we can answer some of your questions through the
2 presentation?

3 MR. SHEWMAKER: Great. Thank you, Ray.

4 And just received another comment from Joe Cain.
5 He says,

6 "Regarding installed PV system size, it is becoming
7 apparent that existing homes with PV retrofit might
8 have about 10 or 12 PV panels. New homes in new
9 subdivisions often have only about three to five PV
10 panels installed. The problem is that the minimum
11 prescriptive requirement is so small that home buyers
12 often find themselves in the position of trying to add
13 on to their PV system size to be more appropriate for
14 their demand. The challenge is in trying to retrofit
15 and add on to an almost new PV system with compatible
16 components."

17 MR. SAEED: Okay. Thank you, Joe, for your
18 question. I'm going to answer this in an engineering, you
19 know, point of view.

20 Most of the single-family PV have these days,
21 without naming the vendors, have the microinverter
22 solutions. And those microinverter solutions are very easy
23 to add on to the -- right? So I think the cost has
24 significantly reduced ever since I think the microinverter
25 solution has been implemented.

1 I understand that sometimes with optimizer and
2 without any power electronics, the add-on might be a little
3 bit expensive. But like I said, these are the minimum
4 prescriptive requirements, and you can add as much as
5 possible.

6 One more thing is that we have the kilowatt hour
7 mentioned in our CBECC, and I think you can also get some
8 of the similar data with EnergyPro as well. And once you
9 do that, you can always find that this is the annual load,
10 and what is your PV coming from the different solar
11 assessment tools, and what is the maximum PV you can put.
12 And you can always consult with a utility, that what is the
13 maximum size I can put. And sometimes these days,
14 utilities are allowing you to put an extra amount of PV
15 because they are forcing the future EV cars (phonetic), as
16 well.

17 I hope that answers your question.

18 MR. BOZORGCHAMI: Any more questions or comments
19 regarding the single-family?

20 MR. SHEWMAKER: Nothing more online.

21 MR. BOZORGCHAMI: Alrighty. If not, let's move
22 on to the multifamily. We've still got Ray's question, but
23 we'll answer it as we go forward.

24 MR. SAEED: Okay. Alright.

25 So now we are on to the low-rise multifamily PV

1 requirement proposed changes. Okay, so just like in
2 single-family, the first update is about updating the
3 equation for single-family PV requirement. We are going to
4 update the equation based on weather data and LSE metric.
5 Once again, we want to make sure that our PV requirements
6 still assume the mixed-fuel building.

7 Similarly, with the sloping requirements, we are
8 going to have a SERA times X value, and there will be two X
9 values based on the slope, same reasoning. You have seen
10 low-rise multifamily with flat roof, as well as you must
11 have seen low-rise multifamily with a steep slope. So we
12 will have different requirements of lower bound based on
13 the SERA times X.

14 And one thing, just for the practical purpose, I
15 would like to mention that most of the time, the SERA times
16 X, or this lower bound, only comes into play when you have
17 a high-rise nonresidential building;, right? And most of
18 the, you know, two or three stories, or maybe less, we
19 don't get into this situation most of the time. So I think
20 that will not be creating (phonetic) the issue. We already
21 have the SERA times 14 in the nonresidential.

22 Okay, yes, the third one is also similar to the
23 single-family, is that our performance PV sizing will be
24 based on the prescriptive equation. And that equation
25 still assumes the mixed-fuel building.

1 Okay, fourth one is also the same, the self-
2 utilization credit. Efficiency LSE is straight up still
3 allowed. And we are going to make a few changes in the
4 self-utilization credit based on the underlying weather
5 conditions and LSE values.

6 Now, the fifth one is a very significant one and
7 I would like to put more time on that one, is a no virtual
8 net-energy metering exception for low-rise multifamily.

9 Just to give you the background, in 2022, we
10 introduced a non-VNEM exception. And what that exception
11 is, basically, is that if you have a multi-tenant building,
12 whether high-rise multifamily or a nonresidential multi-
13 tenant building, and the utility does not offer the VNEM,
14 then you don't have PV requirements. And as a result, the
15 battery storage requirements.

16 We were considering to extend those requirements
17 or extend that exception to low-rise multifamily. However,
18 we are exploring a different pathway here. And we are
19 exploring exception for small PV system sizes by dwelling
20 to a unit (phonetic) for non-VNEM projects. So we are
21 still discussing and analyzing some of the thresholds that
22 will be analyzed. And we will also define VNEM here.

23 I know there will be some questions might be
24 coming from this one, so I want to explain it first,
25 that -- what we are trying to do. So suppose that you have

1 a non -- that you have a low-rise multifamily project and
2 the utility does not offer VNEM. So what we are going to
3 do is that we are going to apply that prescriptive
4 equation, as you can see on the top, on every small
5 dwelling unit. And we are going to say that right now, as
6 you know, that threshold is 1.8 kilowatts for single-family
7 and the low-rise multifamily, we are going to come up with
8 a number that will be bigger than 1.8, let's say 2.2 for
9 the sake of discussion. And we are going to say that if
10 you get the answer above or equal to 2.2 kilowatt DC, then
11 you are going to install the solar for that particular
12 apartment unit or dwelling unit. If not, if your answer is
13 coming out to be less than that, then that dwelling unit is
14 exempt from PV.

15 One thing I did not mention here, and I think it
16 will come up in someone's mind, we are not going to have
17 energy storage requirements for low-rise multifamily.

18 Okay, thank you very much. Any questions?

19 MR. BOZORGCHAMI: So we have quite a few
20 questions in the question and answer. Should we start with
21 Ray's question, Michael, and have Javier respond, if
22 possible?

23 MR. SHEWMAKER: Sure. Yeah, so Ray's question
24 is,

25 "Working with the customer to complete the QUAC

1 (phonetic) analysis for an affordable multifamily
2 project in the CBECC 2022 software and are running
3 into issues. When SMUD SolarShares is accounted for
4 in the energy models, the QUAC analysis is not
5 accounting for any solar installed on the project. Is
6 there a workaround so that we can account for the SMUD
7 SolarShare PV system in the QAC analysis?"

8 MR. SAEED: I think we will have our software
9 team get back to you.

10 MR. BOZORGCHAMI: No, actually, Javier is going
11 to answer.

12 MR. TSAN: Okay, Javier can answer.

13 MR. PEREZ: Hey, Ray, thanks for the question.
14 And, you know, this is part of that streamlining of
15 affordable housing programs and the Energy Code and trying
16 to make these things work a little more efficiently.

17 So appreciate the feedback. I've sent you an
18 email, copied our electrical lead on the QUAC work, so
19 please reply, and we'll work through it. Thanks a lot.

20 MR. SHEWMAKER: Thank you, Javier.

21 Next up, we have a question from Luke Morton.

22 "If the SERA multiplier varies by slope, shouldn't it
23 also vary by orientation? Orientation has a
24 significant effect on LSE results, especially with
25 steeper slopes."

1 MR. SAEED: Oh, okay. Yeah, that's a very good
2 question.

3 So on the background of the 2022 SERA times 14,
4 we had assumed a ten degree tilt; right? And we always
5 assumed that it is going to be towards the south, 180
6 degree. However, I think the difference between 10 degree,
7 5 degree, 25, and 30 degree is not that significant. And
8 we are going to go with a very conservative number here,
9 that, for example, if you even go with a 5 degree, because
10 the lower the tilt, you are going to stack up the PVs
11 against each of them more closely and the more requirements
12 you have. That is why we went with 10 degree, not with 30
13 degree or more; right?

14 So as a result, I think our results or the number
15 that we came up with, probably by the next workshop, you
16 can always model with different orientation and tilts to
17 see that, whether these requirements penciled out with your
18 roof requirements.

19 However, just for the information, in 2022, we
20 assumed the 10 degree tilt and 180 degree orientation.

21 MR. BOZORGCHAMI: Thank you, Muhammad.

22 Gina Rodda, I'm going to ask you to raise your
23 hand, and I'm going to unmute you. You have three
24 questions there, or three comments, and I'd like to get a
25 little bit more in-depth information from you. Go ahead,

1 Gina. Thank you.

2 MS. RODDA: Hello, this is Gina Rota from Gabel
3 Energy. I didn't think all my comments through to put them
4 all in one thing, so I'm so sorry about that, Payam.

5 So I thought I heard briefly that there aren't
6 any issues with SERA for low-rise multifamily, which is not
7 true, especially in the urban areas. We have a lot of
8 infill projects. We don't have enough roof area for the
9 mechanical equipment for all this other stuff. And
10 currently, right now, we have to model a fake PV system to
11 show that PV kW, it's just a mess.

12 So we really do need the SERA times a watts per
13 square foot option, just like you are now going to support
14 for single-family and is already supported for high-rise
15 multifamily. It will really help simplify things and help
16 support those project types.

17 The cost associated with putting in a PV system
18 per dwelling unit, oh my gosh. And then I'm also concerned
19 about, I have a building that has ten different dwelling
20 unit types. And I have to do this per dwelling unit type,
21 and I only have one or two dwelling units on the first
22 floor and one's on the third floor, and how am I going to
23 make sure that PV system is serving those two dwelling
24 units that are over this exception? Thank you very much
25 for really thinking hard about what that KW exception needs

1 to be for multifamily.

2 I have such concerns about the enforceability and
3 designability of this VNEM option that you guys are
4 proposing.

5 Thank you.

6 MR. SAEED: Okay, so first comment, Gina, thank
7 you for the endorsement. I will say, yes, that is the
8 reason and the thinking behind the SERA times X watt per
9 square foot. And yeah, once we come up with number, we
10 will be looking forward towards others' comments and your
11 comments as well.

12 As far as the non-VNEM exception is concerned, we
13 have thought very thorough about it. And that number that
14 we are going to come up, I think it will be mostly for, I'm
15 just making a number here, but mostly it will be around
16 1,200 square feet or above apartment. And we have done
17 analysis with very, very strict, you know, POUs. And we
18 have seen that once you have a very bigger apartment, the
19 numbers pencil out.

20 I will make a reference as well. I don't know
21 how much people are paying attention towards our docket
22 BSTD-04 with all the activity going on. We have a
23 particular, you know, exception we are working on right now
24 with Benjamin Apartments. And what we have seen is that
25 once your apartment's size increase, even with -- I agree,

1 that the costs increase significantly. And I have seen
2 costs ranging from \$7.00 to \$9.00 per watt. Even with that
3 cost, once your apartment is very big, the cost
4 effectiveness pencil out.

5 I don't know why I am getting the echo here.
6 Anyways, okay.

7 And having to apply this for each dwelling unit
8 configuration is going to be difficult.

9 So usually, you are right, there may be some
10 projects in which the dwelling unit size is not consistent.
11 And in that case, I agree that you will have to do it for
12 different types of sizes. But that's the best workaround
13 we can do. Because the thing is that if we apply that non-
14 VNEM exception to all of the low-rise multifamily, we are
15 going to lose a lot on the solar. And we will not be able
16 to meet our greenhouse gas reduction and all the other
17 goals if we just apply that non-VNEM exception to all the
18 low-rise multifamily.

19 So we have chosen a central path that we just
20 raised the bar of the cost effectiveness for the dwelling
21 units. But for those apartment units which are still
22 coming out to be cost effective, we don't apply that
23 exception.

24 Hope that answers your question.

25 MR. BOZORGCHAMI: Thank you, Muhammad.

1 We have a question from Jimmy Benjamin. "Are
2 there any proposed changes to PV requirements for existing
3 multifamily buildings?"

4 MR. SAEED: No. I think you are talking about
5 the PV. Yes. No, we are not going to apply any PV
6 requirements to additional alteration.

7 MR. SHEWMAKER: Thanks, Muhammad.

8 Next up, we have a question from Nick Brown. And
9 he's asking, "How much of the state has no VNEM?"

10 MR. SAEED: Okay, so I will -- I mean, I will
11 have to look at my numbers, but I think around 60 percent
12 of the population is under the IOUs. The numbers may be
13 off a little bit. And the rest of the state has POUs. And
14 most, not all, POUs don't offer VNEM. So we can say that
15 on the, roughly, 30 percent to 40 percent of the population
16 has no VNEM. SMUD does not offer VNEM for retail rate.
17 SMUD does offer for the low-income multifamily. Roseville
18 doesn't have that, Turlock, Lodi. And there may be others
19 in the South as well.

20 So yeah, we are looking at the 40 percent. And
21 if we apply -- and I understand the background of the
22 question -- and if we apply that non-VNEM exception, we are
23 going to lose around 30 percent to 40 percent of the state.
24 And low-rise multifamily is, you know, is one of the major
25 building prototype out there.

1 MR. SHEWMAKER: Thanks.

2 MR. BOZORGCHAMI: Thank you, Muhammad.

3 MR. SHEWMAKER: Thanks, Muhammad.

4 And then there is a comment from Nick Brown,
5 saying,

6 "Perhaps make the PV exception for no VNEM based on
7 square footage of the multifamily units. Currently,
8 the 1.8 kilowatt exception for small single-family
9 homes means a different square footage single-family
10 home by climate zone, very confusing and hard to
11 explain to clients."

12 MR. SAEED: Yeah, that's one. Yeah, that is a
13 good suggestion. Yeah, we can definitely look into that
14 one in which we don't look at the kilowatt DC, but the
15 square footage. So, yeah, you can submit that suggestion.
16 And we can definitely take a hard look into this one.
17 Thank you.

18 MR. BOZORGCHAMI: Thank you, everyone.

19 Thank you, Michael.

20 I do have one more raised hand for Laura.

21 Laura, go ahead and state your name and
22 affiliation and --

23 MS. PETRILLO-GROH: Hi. This is Laura Petrillo-
24 Groh with AHRI.

25 This question really relates to residential

1 properties. Would you mind if I asked it now if I'm the
2 last person?

3 MR. SAEED: Sure.

4 MS. PETRILLO-GROH: Thank you so much. And it
5 also may be premature because we haven't seen proposed
6 language for the heat pump baselines or for the solar
7 changes, but I was wondering if you all had -- there are
8 some requirements that are in the 2022 edition for domestic
9 hot water heating systems, and one of those provisions
10 allows for a solar water heating system with electric
11 backup.

12 I was wondering if that, you know, if the
13 expanded PV requirements took into account perhaps the roof
14 space that would be allocated to one of these, you know,
15 any of these options that would involve roof space?

16 MR. BOZORGCHAMI: Sure.

17 MS. PETRILLO-GROH: And if not -- so sorry. Go
18 ahead, please.

19 MR. BOZORGCHAMI: No, no, I said, "Sure." I'm
20 just saying, sorry I interrupted, Laura.

21 MS. PETRILLO-GROH: Oh, okay. So, yeah, that was
22 my question, because I also know that some of the options
23 that were proposed earlier today for mixed-fuel buildings
24 involve battery systems. So I just was trying to get a
25 handle on how, you know, these different measures interact

1 with each other since I also heard that additional solar
2 requires a battery.

3 MR. BOZORGCHAMI: Okay. So, Laura, I'm going to
4 have either --

5 MS. PETRILLO-GROH: Um-hmm.

6 MR. BOZORGCHAMI: -- I'm going to have either
7 Javier or Danny Tam answer that question.

8 MR. PEREZ: Thanks, Payam. This is Javier,
9 Energy Commission.

10 Yeah, I mean, what we were proposing were
11 options, not requirements, so there's different pathways
12 here. This certainly wasn't something that is part of a
13 requirement.

14 And, Laura, I want to make sure I understand your
15 question, and hopefully that I've answered it. So I'll
16 give you a chance to reply here if you have more questions
17 or want to elaborate a little further.

18 MS. PETRILLO-GROH: No, it was really having to
19 do with, you know, the roof space that would be involved
20 with a solar water heating system --

21 MR. PEREZ: Yeah. Um-hmm.

22 MS. PETRILLO-GROH: -- under 150.1(c)(8), and
23 then those three options underneath it, (A), (B), and (C),
24 those are the three. You know, it's got to meet those
25 requirements, one of those, in the current Code. So if

1 those options are persisting in the 2025 edition, I'm just
2 interested to understand if that, you know, that roof space
3 that would be needed for the solar water heating system was
4 accounted for in the PV calculations.

5 MR. TAM: Hi. This is Danny Tam.

6 So we did not because that's really, you know, a
7 prescriptive alternative. It's not a requirement that
8 people install a solar water heating system, it's just an
9 option.

10 I would point out that that system probably would
11 require pretty small solar thermal pipes, require one or
12 two panels, so most likely will not become an issue for
13 roof space. But if it is, then they can choose the other,
14 you know, option that's available, or just do performance.

15 MR. BOZORGCHAMI: So prescriptively, there's
16 multiple paths, Danny, and then if not, then some of them
17 can go performance --

18 MR. TAM: Correct.

19 MR. BOZORGCHAMI: -- if I'm understanding what
20 you're saying? Sorry. Okay.

21 MS. PETRILLO-GROH: Thank you.

22 MR. BOZORGCHAMI: Thank you. Thank you.

23 Any other comments or questions? I don't see any
24 more raised hands, so I think we could move on into the
25 nonresidential.

1 MR. SAEED: Alright. Oh, sorry. Sorry. Okay.

2 Okay, so we are onto the nonresidential. And
3 this first one is the most important and the major project
4 that we are undertaking right now. And, unfortunately, we
5 don't have the complete details yet. We are going to wait
6 for the next workshop for what changes, if there are some
7 changes we are going to do or not. So if successful, this
8 change is going to be the hallmark of the PV-plus-battery
9 requirements for the 2025 Code cycle.

10 As you know, the 2022 requirements included PV-
11 plus-energy storage for certain nonresidential buildings
12 and high-rise multi-family. These requirements are based
13 currently on the building type. However, if you look at
14 the list of the buildings, there were certain buildings
15 that are not part of it. I think I can think of maybe
16 gymnasium, you know? This approach is quite like what we
17 have.

18 So what we are going to do is we are going to
19 explore a new approach, and we are still exploring that,
20 and this approach will be quite like what we have in the
21 lighting, in which every space will have a certain watt per
22 square feet requirements for PV. And similarly, we will
23 have certain requirements for battery as well.

24 We have, as a result, PV and battery requirements
25 will expand into all nonresidential buildings. And just

1 like 2022, the PV sizing will still be based on limiting
2 the exports to 20 percent and using battery storage to
3 further limit the exports to 10 percent. So this is one of
4 the major projects which we are working right now.

5 Okay, just like the second one is that just like
6 we will have different SERA times X for different slopes,
7 we are going to introduce that in the high-rise
8 multifamily. Currently, we just have the SERA times 14, as
9 our assumption was that most of the nonresidential and
10 high-rise multifamily buildings will have low steep or flat
11 roof. However, if there are some high-rise multifamily
12 buildings or nonresidential buildings that don't have the
13 flat roof, we will provide the separate number. Sorry.

14 Any questions on this one?

15 MR. BOZORGCHAMI: So we have -- Gina Rodda has
16 one question, one raised hand.

17 So I'm going to just unmute you, Gina, and go
18 ahead and state your name and affiliation. Thank you.

19 MS. RODDA: Hello. This is Gina Rodda, Gabel
20 Energy. I'm sure it's going to shock you guys that you
21 have a comment about this.

22 When we tried to align -- well, we didn't
23 align -- ventilation space types within lighting space
24 types, because these are two different groups that never
25 speak to each other, don't know each other, and we align

1 and we develop Code, and we assign, okay, what are the
2 requirements for each of these space types? But then when
3 it comes to applying it and enforcing it, in which all of a
4 sudden, is it a bathroom, is it a restroom, you know, it
5 becomes such a challenge. And now you're going to add a
6 third layer associated with PV.

7 Now, I get it, that trying to determine this at
8 the building level has been a challenge, and we still have
9 outstanding questions with you guys on how we are supposed
10 to be applying this at the building level and what are
11 those definitions. I just have concerns about the
12 complexity of this and how it layers and maybe even
13 conflicts with how we name spaces for other parts of the
14 Code.

15 Thank you.

16 MR. SAEED: So, yeah, Gina, thank you for your
17 comment and, like I said, that we are still working on it.
18 And we don't know whether we are going to move forward with
19 this approach or not but we are analyzing quite heavily and
20 we have spent a lot of time on this approach. And once
21 that approach will be finalized, hopefully by next
22 workshop, then we will see how does that look like.

23 But, yeah, you are right that it will be -- it
24 will have some challenges. However, the intended effects
25 are quite great. Right now, there are some few

1 nonresidential buildings in the new construction that don't
2 satisfy any of those building types that we have. Once we
3 have this approach, then we are going to -- we are not
4 going to spare any nonresidential buildings out there;
5 right? So that is one major, you know, good thing that can
6 come out of it.

7 But, yeah, you are right. We are analyzing some
8 of the problems internally, and we will see how does that
9 play out.

10 MR. BOZORGCHAMI: Eric Shadd, do you want to add
11 more to that?

12 MR. SHADD: Yeah, I would like to add to that.
13 Eric, Shadd, NORESCO, consultant to CEC.

14 So Gina, yeah, I've been talking -- I've had
15 meetings with Sally and with that team, and we are trying
16 to align exactly with the lighting space types. So it
17 would be the same space types that are used for lighting.
18 It would be the same space types that are used for the PV
19 requirement, PV and battery requirement.

20 And then I saw another comment up here that was
21 about hospitals. Yeah, we're talking about that right now.
22 And there may be an exception for hospitals.

23 MR. BOZORGCHAMI: Eric, but the work on hospital
24 is still iffy; right? We're still working on it, and we're
25 trying to figure out if we got the bandwidth to tackle

1 that; am I mistaken there?

2 MR. SHADD: That's, not for PV. Not for PV,
3 Payam.

4 MR. BOZORGCHAMI: Okay.

5 MR. SHADD: But what's in discussion is whether
6 it makes sense to do it for hospitals or not. And so,
7 yeah, we're all talking about it.

8 MR. BOZORGCHAMI: Yeah.

9 And I think what Eric, everyone, what Eric was
10 alluding to was the comment in the question and answer
11 portal from Ina Dolosava (phonetic). I'm sorry about that.

12 "Would PV requirements will be extended to hospitals?
13 How do you see space type versus building types for
14 medical offices?"

15 And I think Eric was trying to allude to that
16 question also. Thank you.

17 I'm going to jump back over here to Ted Tiffany.
18 I'm going to unmute you and go ahead and just state your
19 name and affiliation, please.

20 MR. TIFFANY: Yeah. Thanks, Payam. Ted Tiffany,
21 T-I-F-F-A-N-Y, Building Decarbonization Coalition.

22 In wholehearted agreement with Gina, you know,
23 obviously.

24 But just want to throw one more thing to consider
25 in there is old shell and worn shell that don't have space

1 defined, as well as a defined building. And then split
2 submittals. If you're going to have a split submittal with
3 a lighting designer submitting separate from mechanical
4 zoning and envelope, those are going to tell you two very
5 different things in terms of the space counts. And even
6 having two different energy consultants model that building
7 the way they break out space types and what they classify
8 space is going to be a nightmare for you on this.

9 So I'd consider those two things in this
10 consideration, breaking it down by space type.

11 MR. BOZORGCHAMI: Thank you, Ted.

12 MR. SAEED: Yeah, thank you, Ted. And
13 definitely --

14 MR. BOZORGCHAMI: We'll take it into
15 consideration.

16 MR. SAEED: Okay. Yeah. Yeah.

17 MR. BOZORGCHAMI: We're going to take that all
18 into consideration and review and see what we can do.

19 I noticed, Gina, you had your hand raised. I'm
20 going to unmute you and go ahead and maybe -- oh, sorry.
21 Maybe, if you raise your hand, I'll unmute you again.

22 Ray? Oh, here we go.

23 MR. SHEWMAKER: Yeah, so there's a question from
24 Ray in the chat. "Any changes regarding SERA exempted
25 excluded roof areas?"

1 MR. SAEED: Ray, can you elaborate this one? I
2 don't know if you are talking about that executive director
3 approval for SERA exclusion based on some other Building
4 Codes or not. Can you just speak to your question, maybe,
5 you know, because what kind of SERA? Yes, yes, exactly.

6 So, yeah, we have occupied roof decks already.
7 On top of that, I think we have the regulatory advisory
8 either published or will be published soon, in which we are
9 saying that if there is a state code, state building code,
10 then the SERA gets reduced automatically. However, if
11 there is a local building code that conflicts with SERA,
12 then that local building will have to apply to CEC. And we
13 are going to see how that building code reduces the SERA,
14 and it has to go through the executive director approval.

15 Does that answer your question? Thank you.

16 MR. BOZORGCHAMI: Thank you, Ray.

17 Thank you, Muhammad.

18 Gina, let's try one more time. Go ahead. I
19 apologize for that.

20 MS. RODDA: Gina Rodda, Gabel Energy. So I want
21 to build a little bit on what Ted said. And, Ted, I think
22 about tenant improvement spaces. Thank you for bringing
23 that up. But when we do lighting, we don't always have a
24 space type that aligns with the space types we see in the
25 lighting category tables. So we take the one that most

1 closely represents what's happening in the area and the
2 intent, and we make our best guess.

3 Now, if we have to make that best guess thinking
4 lighting, but then we might be going, oh, but how does that
5 affect PV, and if PV becomes the precedent of why you're
6 going to call it one space type over another and how that
7 affects lighting, so just tread carefully, please.

8 And I'd be happy to help support what you guys
9 are doing and make sure that it's enforceable.

10 MR. BOZORGCHAMI: Thank you, Gina. That's good
11 information, so we'll look into it.

12 MR. SHEWMAKER: And, Payam, it looks like we have
13 another raised hand here.

14 MR. CAIN: Thank you. Joe Cain with SEIA.

15 I do think this is a very interesting discussion
16 and valuable discussion on modifying the calculation by
17 space type. And I think that, you know, one thing that
18 we've seen, of course, California started a PV requirement.
19 I work on the IECC, which is just introducing a commercial
20 and nonresidential PV requirement, and that is modeled
21 after ASHRAE 90.1. So we have other things happening in
22 other parts of the nation outside of California.

23 Those things are very simplified. ASHRAE started
24 with a tiny 0.25 watts per square foot of three largest
25 floors. Someone who works on ASHRAE might correct me if

1 I'm misstating, but I believe that's changed from 0.25 to
2 0.5 watts per square foot of three largest floors. That is
3 still a very, very small system as part of the prescription
4 minimum. The IECC, I believe it was a proposal from the
5 Department of Energy as developed by Pacific Northwest
6 National Laboratory. I think it took a similar approach
7 but bumped it up to 0.75. I think we can do better.

8 And I think that this minimum PV system sized by
9 space type, I hear Gina's concerns, I understand that it is
10 more complex. California has not hesitated before to be a
11 leader and show that thought leadership.

12 And I think that in terms of breaking it down by
13 space type, I think we have to remember that even though,
14 yes, we do that for lighting, we do that for other
15 purposes, that we are now beyond the regulated loads when
16 you're talking about demands for electricity that, you
17 know, could be supplied by PV. So now there could be some
18 space that has a concentrated plug load or some other load
19 that is not part of the traditional regulated loads that
20 some of our energy consultants think about on a daily
21 basis.

22 So I think it's worth exploring. I'm glad to
23 hear that you're exploring it. I think it's worth
24 development. And I think it's worth considering with an
25 open mind from multiple stakeholder perspectives. So I'm

1 glad. Thank you for doing this. And we don't know if it's
2 going to stick, but I think it's worth exploring. Thank
3 you very much for doing it.

4 Thank you.

5 MR. SHEWMAKER: Thank you, Joe.

6 Looks like we have another raised hand from Carol
7 Roberts. Sorry, Carol, give me one second. There we go.
8 You should be able to unmute now.

9 MR. ROBERTS: There we go. Apologies, I'm just
10 dialing in late.

11 I do have a question on VNEM. And I don't know
12 if there was an answer to how much of the state does not
13 have VNEM. Was there anything, was there a comment on
14 that, or is it something to get back to?

15 MR. SAEED: I'm sorry, Carol, is your question
16 how much of the state does not have VNEM?

17 MR. ROBERTS: Yeah, so apologies. I didn't get
18 in here right after lunch and I've missed the part I really
19 wanted to hear.

20 MR. SAEED: Oh, okay.

21 MR. ROBERTS: So there's a question in the chat,
22 it says, "How much of the -- do we know how much of the
23 state does not have VNEM?" Was there an answer given to
24 that question?

25 MR. SAEED: No, I just gave rough --

1 MR. ROBERTS: Oh.

2 MR. SAEED: -- figures, that almost 60 percent of
3 the population is under IOU that have -- by CPUC have to
4 have VNEM and there are -- and the rest are POUs, and some
5 of -- and very few of those have VNEM. So, I mean, the
6 guesswork is, around 35 percent to 40 percent of the state
7 population, you can say, might not have the VNEM.

8 So the point I was making, that if we extend the
9 non-VNEM exception to low-rise multifamily, then it will be
10 a huge loss of PV.

11 MR. ROBERTS: So I have a comment to that last
12 statement that I want to double-check with you.

13 MR. SAEED: Okay.

14 MR. ROBERTS: Regarding VNEM and availability, I
15 have gone round and round with Los Angeles. They have a
16 pilot VNEM program. And there's no way to understand
17 whether or not that qualifies as VNEM because you have to
18 qualify under their pilot.

19 So my first answer would be, no, it would not be
20 considered VNEM is available because it's not available to
21 all project types or multifamily projects.

22 MR. SAEED: Um-hmm.

23 MR. ROBERTS: Have you had any back and forth
24 with other folks trying to understand whether, you know, --

25 MR. BOZORGCHAMI: So on this --

1 MR. ROBERTS: -- LADBS? Yeah?

2 MR. BOZORGCHAMI: So this is Payam.

3 I think on this one, we're going to have to do
4 some research and look at some more details. And I think
5 we're going to have to communicate with you a little bit
6 more, if that's possible, offline --

7 MR. ROBERTS: Um-hmm.

8 MR. BOZORGCHAMI: -- to get a better feel. I
9 don't think we have the right answer right now if we needed
10 an answer.

11 MR. ROBERTS: Okay.

12 MR. BOZORGCHAMI: Yeah.

13 MR. ROBERTS: And then in the areas where
14 ballparking narrowed it down to about 35 percent to 40
15 percent of the state that is not in a VNEM territory, I
16 mean, are we clear on what those jurisdictions are? That's
17 L.A., Anaheim, I think it's even Long Beach, I mean, it's
18 Riverside. I mean, these are not small areas.

19 MR. SAEED: I am more familiar with my area. So
20 SMUD does not have VNEM for regular multifamily projects.
21 They have VNEM for qualified low-income projects.

22 MR. ROBERTS: Right.

23 MR. SAEED: Roseville is also not small, not big,
24 but it's a very growing area. They don't have VNEM.
25 Turlock and Lodi in the valley also don't have VNEM. And I

1 think majority, I think the majority of the POU's don't have
2 VNEM. I think the only VNEM kind of a program that I know
3 from a POU is the Silicon Valley Power that I have recently
4 known that they have something similar to VNEM.

5 MR. ROBERTS: IID has put one out there --

6 MR. SAEED: Okay.

7 MR. ROBERTS: -- down here. I love that you all
8 are in Northern California but, you know, Southern
9 California has a whole lot of large jurisdictions that are
10 not --

11 MR. BOZORGCHAMI: Yeah.

12 MR. ROBERTS: -- do not have VNEM.

13 MR. SAEED: Correct.

14 MR. BOZORGCHAMI: Yeah, that's fair. And I think
15 we might need to get a list from you, if possible --

16 MR. SAEED: Yeah.

17 MR. BOZORGCHAMI: -- for Southern California and
18 get familiar with this a little bit more further.

19 MR. ROBERTS: I mean, nothing in L.A. --

20 MR. BOZORGCHAMI: Sure.

21 MR. ROBERTS: -- has VNEM. I mean, that's a huge
22 area --

23 MR. SAEED: Yeah.

24 MR. ROBERTS: -- that is not putting solar on --

25 MR. SAEED: Um-hmm.

1 MR. BOZORGCHAMI: Okay.

2 MR. ROBERTS: -- which is kind of good for some.
3 You know, some see it's good, and some see it as bad.
4 But --

5 MR. SAEED: Um-hmm.

6 MR. BOZORGCHAMI: Sure. Sure. Okay.

7 MR. ROBERTS: -- yeah, it's pretty widespread.
8 Okay.

9 MR. BOZORGCHAMI: Thank you. Thank you.

10 I don't see any more raised hands or any comments
11 in the question and answer portal, so I think we can move
12 on.

13 MR. SAEED: Alright. So as far as the PV and
14 battery storage is concerned, we are not going to go into
15 the numbers, the tables here. However, I'm going to
16 basically talk about what are the difference in the cost
17 effectiveness assumption that we are assuming for our
18 analysis that we are working on so far.

19 So in the previous cost effectiveness -- and let
20 me put find my laser here. Okay, so in the previous cost
21 effectiveness assumption, we were using a different
22 accounting method, the TDV values, time-dependent
23 valuation. We have just introduced the 2025 LSE, so these
24 are the first major changes that we are using LSEs to study
25 the cost effectiveness.

1 One thing that happened is that our export
2 compensation before were based on NEM 2.0, which was the
3 retail rate minus net surplus charges. However, if you
4 look at our 2019 and 2022 PV reports, or PV-plus-battery
5 reports for 2022, we had mentioned that we had studied what
6 will be the effect if the exports are compensated at
7 avoided costs.

8 So as a result, in 2025, now NEM 3.0 is a reality
9 on net billing tariff, I should say. We are going to
10 compensate our exports based on the avoided costs
11 determined based on LSEs. So these are not the actual
12 bills, but these are the avoided costs based on LSEs. So
13 LSEs have different components, and some of the components,
14 like retail rate and emission abatements, we kind of
15 basically subtract from the whole LSE values, and then we
16 get the export compensation based on the avoided costs.

17 The other big factor is that now we are assuming
18 30 percent tax credit. For 2019 PV requirements, we had
19 zero percent tax credit. However, for 2022, we were
20 assuming ten percent tax credit for PV as well as for
21 battery storage. But now, after President Biden signed the
22 IRA, we are going to assume 30 percent LSEs.

23 And I think there might be some questions, so I
24 will clarify that it is -- this 30 percent ITC will only go
25 into the first cost. The maintenance and replacement will

1 not have that tax credit as the existing tax credit is
2 going to sunshine in 2032, if I'm not mistaken.

3 Similarly, we have updated our cost data sources.
4 In 2019, it was 2016 annual data, and we are going to use
5 2022 annual data. So I don't have any table and numbers,
6 but just some major assumptions right there.

7 MR. BOZORGCHAMI: Thank you, Muhammad.

8 We have one question in the question and answer
9 portal, Michael?

10 MR. SHEWMAKER: Yeah, we've got a question from
11 Luke Morton.

12 "Has ACC/LSE calculations been posted? I think many
13 would like to review those in detail to help with
14 alignment of compliance and on-bill cost
15 effectiveness."

16 MR. SHEWMAKER: Javier, would you like to answer?

17 MR. BOZORGCHAMI: So I believe in the 2025 portal
18 on our website, there is a version of the 2025 CBECC
19 software that has LSE and that is available for download.
20 And it's not the final version, but it's a version that can
21 be utilized at currently.

22 That was the only question in question and
23 answer.

24 Anybody wants to raise their hand and ask any
25 further questions?

1 MR. PEREZ: Really, really quickly, Payam, I
2 wanted to expand on that. Give me one second. Yeah. So
3 our software is actually currently being updated to reflect
4 some of the recent updates to the 2025 research version
5 software.

6 So, Luke, you know, we're working feverishly to
7 try and get that software ready ASAP. You know, we got a
8 version from our contractors, I believe yesterday, and
9 we're still kicking the tires, trying to make sure that all
10 the runs are performing as expected, so stay tuned. I
11 think probably in the next week, I don't think we'll get it
12 done by tomorrow, but certainly in the next week or two,
13 we'll have software available for you to simulate with
14 adjusted values, so stay tuned. Thanks for the question,
15 Luke.

16 MR. BOZORGCHAMI: Thank you, Javier.

17 We have one raised hand from Carlos Roberts. Go
18 ahead and state your name and affiliation, please.

19 MR. ROBERTS: Hi. Carol Roberts, G.R.E.G
20 Consulting.

21 MR. BOZORGCHAMI: Oh, I'm sorry. I'm sorry.

22 MR. ROBERTS: That's okay. Again, a question
23 regarding your federal tax credit at 30 percent, is there
24 something that has -- do you have to prove that 100 percent
25 of projects have access to this tax credit and are getting

1 30 percent? What is, you know, what is your guidelines
2 around using that as a credit in your analysis yet? Is it
3 available to 100 percent of the projects?

4 MR. BOZORGCHAMI: And is Bill Pennington on? Can
5 you answer that question, Bill?

6 MR. PENNINGTON: You can't see me, can you? Can
7 you hear me now?

8 MR. PEREZ: Yes, Bill.

9 MR. PENNINGTON: I'm not sure why I can't get my
10 camera to go.

11 So, yeah, our understanding is that the vast
12 majority of projects are eligible. And so if you have any
13 comment to the contrary about that, you know, maybe we
14 could get that offline from you.

15 There also would be potential to address this
16 through a 10-109(k) process, which allows us to look at,
17 you know, cost effectiveness for individual projects.

18 If there's some systematic difference that we
19 should be taking into account, it'd be good to get
20 information from you about that.

21 MR. ROBERTS: I'm just curious on, number one, on
22 the process.

23 Number two, as an energy consulting firm our tax
24 credit work is really 45L, which is a completely different
25 item. And we rely on the installing contractors and

1 designers in the solar, battery, and PV industry to manage
2 and let everyone know, number one, that this 30 percent is
3 available to them, their tax credits, but it does not seem
4 like -- I'm concerned that something that not everyone
5 knows about, perhaps, or not everyone is eligible for.
6 Thirty percent is a large number for you to use in your
7 cost effective calc. And if only half the building
8 population has it available, I think we should understand
9 that before we use the whole amount there.

10 MR. SAEED: Yeah.

11 MR. BOZORGCHAMI: Go ahead.

12 MR. SAEED: Yeah, thank you, Carol, for your
13 comments. Yeah, definitely, if you have some information
14 that certain buildings are not eligible for a tax credit,
15 and if you have some strong evidence, then yeah,
16 definitely, we will consider that once you give that to us
17 and we can update our cost effectiveness accordingly.

18 MR. ROBERTS: Do you have any evidence of the
19 fact that all buildings are eligible?

20 MR. SAEED: So, yeah, I mean --

21 MR. ROBERTS: Can you put this number out there?
22 Yeah.

23 MR. SAEED: Yeah. So in 2022, when we did our
24 analysis and we included the ten percent tax credit for PV
25 and battery, I think we had mentioned there that all

1 buildings qualify for that. There might be some issues
2 with the nonprofit, you know, that are not eligible.
3 However, there are some other ways in which IRA has some
4 guidelines that how can you basically qualify and get those
5 tax credits.

6 MR. ROBERTS: Are you speaking to the PV battery
7 tax credits?

8 MR. SAEED: Yes.

9 MR. ROBERTS: Because I know nonprofits struggle
10 also with the 45L. So again, you've taken out, what, 30
11 percent, 40 percent of the building stock that's permitting
12 and building today by not -- you know, that can't take
13 advantage of this. That's where I feel there's probably a
14 large hole. If you're using this number to create a ruling
15 around what this software is going to do and if it's
16 affordable or not --

17 MR. SAEED: Yeah. Yeah.

18 MR. ROBERTS: -- I think it maybe needs to be
19 adjusted a little.

20 MR. SAEED: Yeah. Yeah, I would definitely agree
21 that if 30 percent is not available to a whole group of
22 buildings, then we should consider it. So, yeah, I mean --

23 MR. ROBERTS: Yeah.

24 MR. SAEED: -- if you have any kind of
25 information on this one, send us properly and we will

1 definitely look into it.

2 MR. ROBERTS: Okay. Thanks.

3 MR. BOZORGCHAMI: Thank you, Carol. And I
4 apologize. I get my new glasses next week. Apologize.

5 MR. ROBERTS: That's okay.

6 MR. SHEWMAKER: Payam, do you want to continue
7 with the question and answer?

8 MR. BOZORGCHAMI: Yeah.

9 Bronte, you have your hand raised. Go ahead and
10 state your name and affiliation, please.

11 MS. PAYNE: Hi, Bronte Payne with SunPower. It's
12 B-R-O-N-T-E, and then P-A-Y-N-E.

13 I just want to respond to Carol's question on the
14 IRA. There's not a restriction on the types of buildings
15 that can take the solar investment tax credit for battery
16 and storage.

17 And then one thing that was very helpful is that
18 in the IRA, they actually expanded who's able to access it
19 through things like direct pay and eligibility, which will
20 make it easier for things like nonprofits who have
21 struggled in the past to access it.

22 MR. SAEED: Thank you, Bronte, for the comment.

23 MR. BOZORGCHAMI: Thank you, Bronte.

24 And, Carol, I unmuted you so you could respond.

25 MR. ROBERTS: Sorry. Thanks, Bronte. I'd like

1 to reach out to you to see how we can spread the word,
2 because I don't think that's happening at the solar design
3 and contract level, so great.

4 MR. BOZORGCHAMI: Okay. Thank you.

5 Mike, I have no more raised hands at this time.

6 MR. SHEWMAKER: Okay. We've got a question
7 online from Joe Cain.

8 "Could you please review LSE as compared to TDV and
9 whether there will be any impact specific to PV in the
10 new metric?"

11 MR. SAEED: Yes. Javier, do you want to take
12 this one first? And then I will add to it.

13 MR. PEREZ: Yeah, I mean, the underlying math is
14 the same, you know, it's just we're converting energy to
15 dollars, and long-term system costs dollars. So, I mean,
16 you know, we had an analysis last year that kind of spanned
17 over six months that included updates to weather files, you
18 know, ensuring that our weather data, underlying weather
19 data that simulates buildings in different climate zones
20 is, you know, as current as we can be.

21 We then simulated the electric -- or the grid,
22 whether it's gas or electricity, and then put that long-
23 term goals, whether they're Renewable Portfolio Standard
24 goals or, you know, a number of different state goals that
25 we had that affect the grid in multiple ways and then

1 generated new multipliers.

2 So I mean, to answer your question, you know, the
3 value of energy, depending on the time and depending on the
4 day of the year, you know, yeah, it does shift as a result
5 of new weather, and then different forecasts for the
6 utility systems.

7 Now as far as impacts for PV in the new metric,
8 yeah, I mean, if your energy consumption changes, then your
9 generation will change accordingly; right? So I think
10 Muhammad might have a slide on some other requirements.

11 But all that is to say, you know, that there's
12 still a lot of work to be done, Joe. You know, this is a
13 really, really complicated requirement. And we appreciate
14 your questions and hope to have more thorough answers as we
15 continue through this pre-rulemaking workshops for the next
16 month and a half.

17 MR. SAEED: Yeah. I would just like to add one
18 thing, that we are doing the export compensation in the
19 LSE, as well, so, yeah.

20 MR. PEREZ: Yeah. And the last thing I'd add is
21 that, you know, we have slides on the TDV and LSE changes
22 docketed, presented in October of 2022. And they're on the
23 same docket that any material is for this workshop and any
24 subsequent workshops during this pre-rulemaking phase, so
25 you can see some summaries there. And again, like Will

1 Vicent said earlier, you know, we'll have a report posted
2 in the coming months that further clarifies the changes in
3 LSE for the 2025 cycle.

4 Thanks. Thanks for the question.

5 MR. SHEWMAKER: Thank you, Javier.

6 And then we had a couple of comments from Ted
7 Tiffany. I think he was chiming in to the conversation
8 that Carol and Bronte were having. Ted states

9 "Not for-profits, and cities/governments that don't
10 have tax liabilities. They are traditionally going
11 through PPAs."

12 And then we've got two questions from Anonymous.
13 "30 to 40 percent of buildings owned by nonprofits?"

14 That was a question.

15 And then your other question was,

16 "Shared savings programs where a private company owns
17 the solar and leases it to the nonprofit entity, does
18 this address the tax credit issue for nonprofits?"

19 MR. BOZORGCHAMI: So I'm going to stick my neck
20 out here, this is Payam, and say that 30 to 40 percent of
21 buildings owned by nonprofits, I don't know if that's true
22 or not, and I don't know if we have data on that.

23 So if the person that's the anonymous attendee
24 could provide that information to us, that'd be great.

25 So with that, I think, I don't see any more

1 raised hands or any more questions and answer.

2 MR. SAEED: Alright. So now, next we have the
3 JA12 requirements. And before showing the slide, I would
4 like to mention that this is still a work in progress, and
5 we might change these requirements as we talk more with the
6 public.

7 Before going over this slide, I want to let
8 everyone know that we have been coordinating extensively
9 with the energy storage industry for quite some time,
10 especially to put more stringency around the control
11 requirements.

12 So the first one minor change is the addition of
13 the UL 1741, Supplement B. Right now our requirements have
14 Supplement A and we are adding Supplement B. And these
15 requirements are coming from after the recommendation
16 coming from our Renewable Division.

17 The other change is just the clarification.
18 Existing requirements have usable capacity for more than
19 five kilowatt hour. However, we have found out that
20 certain manufacturers have products available for less than
21 five kilowatt hour. So we are going to allow smaller
22 products as long as their combination adds up to more than
23 five kilowatt hour.

24 The third change is work in progress. It is
25 still ongoing and we are still in the analysis and research

1 phase. The existing requirements, as you can see, were
2 similar for all energy storage types. And there were two
3 times annual reset ten days before the TOU schedule. And
4 we hadn't defined load shifting capacity very clearly.

5 Going forward, we are going to split our control
6 strategies into two. One, we will have the single-family
7 requirements in which we will basically try to see how can
8 we limit the battery reserve level by doing an automatic
9 reset after every 72 hours. This 30 percent maximum level
10 of the reserve, this is -- we are still in talks with the
11 energy storage manufacturers and we are going to update our
12 method as we move along; right? And we are going to do the
13 load shifting capacity clearly defined.

14 So before, what we were thinking is that we are
15 going to allow the customer to decrease or increase their
16 reserve level. However, we are not going to. What we will
17 do is that if the customer has a reserve level in excess of
18 30 percent for more than 72 hours, we will put it back. We
19 are still in talks with energy storage manufacturers and we
20 are going to work on how to do the percentage or the
21 absolute value of kilowatt hour that can be regulated.

22 The nonresidential and multifamily battery
23 storage requirements are still a work in progress. And I
24 will be honest that it is very complicated than the single-
25 family. And we are going to do a lot of working in the

1 coming months on how to shape these requirements. We don't
2 have anything to say about the nonresidential and multi-
3 family requirements so far.

4 Any questions?

5 We have one from James Frey (phonetic) in the
6 question and answer. I'll read it real quick. "Do you
7 mean the UL 9540 A?"

8 MR. SAEED: I don't think so. I think it is
9 1741, Supplement B. I mean, if anyone can check quickly
10 whether we have supplement A with 1741 from the Standards
11 and correct me? But I think it is 1741.

12 MR. BOZORGCHAMI: So, James, we're going to have
13 to get back to you on that one to confirm.

14 MR. SAEED: Yeah.

15 MR. BOZORGCHAMI: And we have one raised hand
16 from Bronte.

17 Go ahead, Bronte, state your name and
18 affiliation, please.

19 MS. PAYNE: Bronte Payne, SunPower.

20 I don't think this will be news to the CEC staff
21 because you've heard me say this before, but wanted to
22 share here. I think we're supportive of the direction that
23 the JA12 requirements are going in with the 72-hour reset
24 period. But we think it's really important that the
25 battery credit be maintained at the level it is currently

1 for the next Code. And we think it will be appropriate
2 given how customers are going to be using their batteries
3 to cycle a lot under NEM 3.0.

4 So we're, you know, looking forward to continue
5 working with the CEC on this proposal and maintaining a
6 compliance credit so that there's a big incentive to
7 continue to add batteries.

8 MR. BOZORGCHAMI: Thank you, Bronte.

9 MR. SAEED: Thank you.

10 MR. BOZORGCHAMI: We've got one -- we have two
11 comments and a question in the question and answer box.

12 MR. SHEWMAKER: Yeah, we have --

13 MR. BOZORGCHAMI: Michael, would you be able to
14 read those questions and answers?

15 MR. SHEWMAKER: Yeah, sure, Payam.

16 So we've got a comment, again, from James Frey, I
17 think following up from his earlier comment. He says, "UL
18 954 A is a much safer version of the Standard."

19 And then there's a follow-up to that by Joe Cain,
20 who said, "UL 954 A is a test protocol. UL 9540 is the
21 primary standard for energy storage systems."

22 So thank you, James. Thank you, Joe.

23 MR. TAM: This is Danny Tam. I just want to add,
24 UL 9540 is already required in the JA12.

25 MR. BOZORGCHAMI: It's the supplement that we

1 have to double-check; right, Danny?

2 MR. TAM: It's a separate UL, not the 9540.
3 There's a new supplement. But the one that was in the
4 chat, we already required, not the A. We should still
5 check on it, but, yeah.

6 MR. BOZORGCHAMI: Thank you, Danny.

7 MR. SHEWMAKER: Thank you, Danny.

8 And we've got a question from Carol Roberts.
9 "Who at the state level tracks the number of
10 affordable apartment units permitted annually and
11 total number of apartment units permitted annually?
12 My assumptions are skewed by my client base and
13 building locations."

14 MR. BOZORGCHAMI: I'm going to say this is a
15 discussion that we may have to have with HCD. They do a
16 lot of work on the affordable housing, so that's where we
17 start with. The HCD stand for Housing and Community
18 Development.

19 MR. SHEWMAKER: Thank you, Payam.

20 And last comment is from Joe Cain. He's saying,
21 "Plus one for comments by Bronte Payne of SunPower.
22 Compliance credit for PV plus ESS is very important to
23 moving forward."

24 Thank you, Joe.

25 And that is it in the online Q&A.

1 MR. BOZORGCHAMI: Thank you, Mikey.

2 We have Andy Schwartz. Go ahead. I'll unmute
3 you and go ahead and state your name and affiliation,
4 please.

5 MR. SCHWARTZ: Hey, good afternoon. Can you hear
6 me okay?

7 MR. BOZORGCHAMI: Perfect.

8 MR. SCHWARTZ: Yeah, Andyrew Schwartz with Tesla.
9 Yeah, I want to echo the comments of Bronte.

10 First, I really appreciate the CEC's engagement with
11 the storage industry as you consider changes to the JA12
12 requirements. I think, you know, we certainly appreciate
13 the, you know, balance the CEC is trying to strike here
14 between ensuring that these systems are cycling and
15 providing GHG benefits while also preserving customers
16 flexibility to use these systems in the way that they deem
17 necessary, in particular preserving their ability to use
18 them for resiliency.

19 Similar, I think, also to what Bronte and a few
20 others maybe have said, you know, I guess I am curious
21 where the CEC is going to land on the issue of the credit
22 impacts of the changes to other requirements, and just
23 would urge the CEC to consider how the new realities under
24 the net benefits tariff where customers will be strongly
25 encouraged to cycle their systems out of their own economic

1 self-interest.

2 And then also recognizing that the data that you
3 may have collected thus far, you know, on the amount of
4 reserve capacity customers are sitting on is not in the
5 context of these requirements. And so, you know, if you
6 now have a control framework in place that's constantly
7 reminding customers or really reverting their systems back
8 to, you know, to a more acceptable level of backup reserve,
9 I think it maybe changes the -- I would hope it would
10 change the CEC's perspective on how much of a credit
11 reduction needs to occur.

12 So, yeah, but I don't know, are we going to get
13 into kind of the credit impacts today?

14 MR. SAEED: Yes. Yes.

15 MR. SCHWARTZ: Okay.

16 MR. BOZORGCHAMI: That's in a couple of slides
17 coming up here shortly, Andy.

18 MR. SCHWARTZ: Great. Awesome. Thank you.

19 MR. BOZORGCHAMI: Thank you for your comment.
20 And we'll get with you and Bronte here shortly after and
21 discuss this further.

22 MR. SAEED: Okay. Sorry. Okay.

23 So this slide is informational only. We want to
24 share some research with the public here. And the reason
25 that we started a forum and talks with energy storage

1 industry was to solve one particular issue that resurfaced.
2 And the issue was that the battery storage for single-
3 family is not being used 100 percent for load shifting.
4 Rather, a significant portion of the battery storage is
5 used as a reserve so the customer can use that during the
6 PSPS and other unknown emergencies.

7 Now if you look at the graph, you will see, so
8 these are the percentage of the customers and these are the
9 cumulative backup reserve. What cumulative backup reserve
10 means, for example, let's say 70 percent means that 70
11 percent or less of the reserve level; right? So this one
12 is being added up continuously. It is accumulative.

13 So what we are seeing here is that almost more
14 than 50 percent or 30 percent of the customers here are
15 setting their reserve level almost less than 30 percent
16 here. Now these, I think the industry will agree that this
17 is the existing or a little bit older reality than NEM 3.0,
18 but we still have to get the data on the new reality of NEM
19 3.0 in which we can make sure that the customers are
20 setting their reserve level quite low here. As a result,
21 we are going to make some changes in over some of the
22 calculations here.

23 So sorry.

24 As a result of the research shown of the previous
25 slide, we are considering making some assumptions here. We

1 are well aware that net billing tariff is going to change
2 the way customers cycle their batteries. However, we need
3 to see the evidence. Unfortunately, the net billing tariff
4 is quite new and we don't have the data yet. However, as
5 the time passes and we get the strong evidence that the
6 customers are cycling their batteries aggressively under
7 net billing tariff, we will revise our assumption. But for
8 now, these assumptions look like that.

9 We are going to assume that 60 percent of the
10 said capacity or the apparent capacity will be used for
11 cycling and 40 percent in general will be used in reserve.
12 So if someone does the self-utilization credit using ten
13 kilowatt-hour battery storage, it will be modelled
14 internally at six kilowatt-hour as being available for load
15 shifting.

16 So these are some of the assumptions that we have
17 used and I know we will have some questions on this one.
18 No?

19 MR. BOZORGCHAMI: Okay. Any raised hands? Oh,
20 we got one. Here we go.

21 Go ahead, Bronte. State your name and
22 affiliation.

23 MS. PAYNE: Bronte Payne with SunPower.

24 I mean, I think similar to my last comment, but
25 just to put our finer point on it, if you go back to that

1 graph, like Muhammad said, these are customers that are
2 under an old net metering regime. So most of these people
3 who are getting storage probably got it for the resiliency
4 benefits as opposed to for the economic benefits of, you
5 know, pairing it with their solar, like they will be under
6 an NEM 3.0.

7 So, to Muhammad's point, we definitely think
8 people are going to be cycling their batteries and have
9 less of a reserve under an NEM 3.0. And, you know, we're
10 excited to start seeing that data come in. And I think
11 because of that, you know, we definitely feel like the 60
12 percent is too low for their credit level.

13 MR. SAEED: Thank you, Bronte, for your comment.
14 Yes, and I think we have talked with industry before that,
15 yeah, we have -- the time is not over yet and we have still
16 six, seven months until we make the final, you know,
17 assumption. So as soon as we get the fresh data out of net
18 billing tariff, we will, you know, modify our requirements.

19 And like I said, the performance requirement,
20 this 60 percent cycling and 40 percent cycling is not going
21 to go into the regs. This is the software CBECC change,
22 which we can do quite later as well. So as soon as we get
23 the data that, hey, the batteries customer have the new
24 construction, single-family homes are cycling their
25 batteries quite aggressively, then we will modify our offer

1 assumptions. But without any data assumption, we cannot
2 just base our numbers on the anecdotal evidence.

3 MR. BOZORGCHAMI: Thank you.

4 Andy, I'm going to unmute you. Go ahead and
5 state your name and affiliation, please.

6 MR. SCHWARTZ: Yeah. Hey, Andrewy Schwartz with
7 Tesla again.

8 Yeah, so at the risk of repeating myself, you
9 know, the data that you're basing the diminution of the
10 credit on, you know, to Bronte's point is based on kind of,
11 you know, for systems that were deployed under a very
12 different regime.

13 And then second, I guess it sort of assumes that
14 the control scheme that you're proposing to establish
15 where, you know, after 72 hours, customers would have their
16 systems reverted back to a low level of backup reserve, and
17 while they maintain the ability to set a backup to a higher
18 level, I mean, it seems to assume that that will have no
19 impact on customers behavior, which strikes me as a little
20 odd as well.

21 So I guess just more food for thought as you
22 think about how the credit will be impacted by this new
23 approach.

24 MR. SAEED: Yeah. Thank you, Andrew. Yeah,
25 definitely you are right that it will have some impact on

1 that one. But like I said that I think as we have talked
2 with industry, that we're not going to put any hard cap on
3 that one. So there may, I mean, there may be some
4 customers who again, after 72 hours, increase their reserve
5 level data.

6 So that's why we really want -- instead of, you
7 know, looking at the anecdotal data, we have to look at the
8 hard evidence coming from the vendors. And as soon as we
9 get that in the next coming months, we will definitely
10 update with this approach.

11 MR. SAEED: Thank you, Andy.

12 MR. BOZORGCHAMI: Thank you, Andy. Thank you,
13 Muhammad.

14 Carol, I'm going to unmute you. Go ahead and
15 state your name affiliation, please. Thank you.

16 MR. ROBERTS: Carol Roberts, G.R.E.G. Consulting.

17 I have a question, whether it's single-family or
18 multifamily. I know multifamily 25 is still TBD. Is it
19 possible that there could be a credit in the software for
20 folks that implement the additional, you know, legwork it
21 takes to have mode shaving capacity?

22 And the reason I'm asking is if just left to the
23 energy modeling person and maybe the solar person that won
24 the low bid, right, they're not putting a lot of thought
25 into it. They're just saying, I needed a 10K battery to

1 meet Code and it was easier than more PV or whatever.
2 They're not having a deeper conversation with clients
3 saying, this is what it means. I mean, we like to think
4 that people are planning this really well for their home or
5 their multifamily apartment building, but in practice,
6 they're really not. They're looking at a number, how do I
7 meet code, how do I get out of this, what can I do?

8 And if there was a way to get some kind of a
9 credit for doing a good job in sizing a battery or in the
10 load shaving software that's required, because a lot of
11 times these will go, you know, grid first and no one has
12 the conversation about, well, what if I want it not to go
13 grid first, what if I only want it to discharge from four
14 to 9:00 p.m., would that be something that we might be able
15 to see in software at least?

16 MR. BOZORGCHAMI: That's an interesting concept.
17 I'm going to ask if you could --

18 MR. TAM: So --

19 MR. BOZORGCHAMI: Go ahead, Danny.

20 MR. TAM: Yeah, this is Danny.

21 So currently, JA12 does not allow battery
22 discharge to the grid. It's supposed to first serve the
23 building. So that's, you know, that's the basic assumption
24 already.

25 MR. BOZORGCHAMI: Yeah. But, Carol, can you

1 submit your comment in writing to us? I think this is
2 something --

3 MR. ROBERTS: Yes.

4 MR. BOZORGCHAMI: -- we need to look into a
5 little bit more in depth.

6 MR. ROBERTS: I'm curious how it serves the
7 building first, because when it's brought up in the field,
8 it's all about where they place, you know, where it goes --

9 MR. BOZORGCHAMI: Sure.

10 MR. ROBERTS: -- before the bus or after the bus
11 and all of that. I mean, and those aren't things that just
12 happen naturally in the sales of the system to a
13 homeowner --

14 MR. BOZORGCHAMI: Yeah.

15 MR. ROBERTS: -- or someone else.

16 MR. BOZORGCHAMI: Yeah, I think staff needs to
17 think about this one a little bit. Yeah. Yeah, write to
18 us answer submit written comments.

19 MR. ROBERTS: Okay.

20 MR. BOZORGCHAMI: And I hope, you know, maybe the
21 manufacturer --

22 MR. ROBERTS: Yeah.

23 MR. BOZORGCHAMI: -- can help us. So when the
24 manufacturer is certified to us as JA12 qualified, they're
25 sort of finding the battery is supposed to meet the load of

1 the site first.

2 MR. ROBERTS: Okay, but we --

3 MR. BOZORGCHAMI: But, yeah, we'll look into it.

4 MR. ROBERTS: Yeah.

5 MR. BOZORGCHAMI: If you can write to us?

6 MR. ROBERTS: Alright. Thanks.

7 MR. BOZORGCHAMI: Thank you, Danny.

8 Thank you, Carol.

9 Bronte, I'm going to unmute you. Go ahead and
10 state your name and affiliation.

11 MS. PAYNE: Bronte Payne, SunPower.

12 I was just going to, in response to Carol's
13 question, I think for a single-family where batteries are
14 behind the meter along with your PV, so it's simpler. I
15 think some of the questions that you're bringing up are
16 really related to some of the design in multifamily. And I
17 think a really good thing to explore.

18 MR. BOZORGCHAMI: Thank you, Bronte.

19 We're going to hold off on the rest of the
20 questions and answers right now until we get through the
21 rest of the slides. I don't know how much more you have,
22 Muhammad, but we got three more slides and it's -- or four
23 more slides, and then we'll go through those real quick.

24 MR. SAEED: Alright. So 2025 energy storage-
25 ready requirements, even though it looks like a minor

1 change, it's not. In 2002, we introduced energy storage-
2 ready requirements for newly-constructed single-family,
3 including the ADAs. However, we have gotten some pushbacks
4 when it comes to applying these requirements for ADUs. As
5 a result, we are introducing some exceptions for these
6 requirement.

7 First, the practical implication is that if you
8 have a new ADU and you have to install the new service
9 because the energy storage requirement need you to have the
10 225 ampere bus per capacity and that will cause you to
11 upgrade the service, you will not be required to do energy
12 storage-ready requirements.

13 Second is if the building is not required to have
14 the PV, you will be exempt from the battery storage-ready
15 requirement.

16 We are going to go to the next slide and then we
17 will ask the question at the end.

18 Community solar. The major, you know, proposal
19 is in the building opt-out, we introduced in 2022 the
20 building opt-out in which we allowed the individual
21 buildings to opt-out, but not the dwelling units. In 2024,
22 we are going to change or modify the language such that the
23 multifamily dwelling units can opt-out, as well, in
24 addition to the building. So if an apartment is a owned
25 apartment, right, if someone owns an apartment out of 100,

1 the apartment owner can install the onsite PV without
2 having to convince all the building to opt-out and install
3 the solar.

4 So, I mean, there has to be a lot of practical
5 conditions that have to be met between the owner and the
6 association of the apartment -- building. But if they are
7 satisfied, we are not in the hurdle and we are not stopping
8 them to opt-out.

9 Location, located on a distributed system of the
10 load-serving entity, we introduced this in 2022, we are
11 going to clarify the distribution system requirements as
12 having the interconnection voltage less than or equal to
13 100 kV.

14 And the third one is a very minor one in which we
15 did not mention to include the public comment period in the
16 executive director approval of revised application. We are
17 going to clarify that a public comment period will be
18 required.

19 So I will hurry up to the next one. I think this
20 is the last one.

21 Yeah, so 2025 determination, here's another
22 update we are proposing here. For those who don't know
23 what cost-effectiveness determination, we have a regulation
24 in Part 1, 10-109(k) in which we allow the CEC to determine
25 that PV system requirement do not apply with cost-

1 effectiveness threshold where public agency rules cause
2 cost-effectiveness analysis not to hold for that project.
3 For example, if the tariff rates are so small that the PV
4 does not make sense, or if there are first cost in hand,
5 like a non-VNEM solution, you know, sometimes then the
6 builder or a utility can apply for 10-109(k).

7 And we are making it a very small and minor here.
8 Previously, if you were granted exception in the previous
9 Code cycle, you had to apply and go through the whole
10 process, which included the business meeting. We are
11 proposing that if you were granted exception in the last
12 Code cycle, in the next Code cycle, you will only have to
13 go through the executive director approval. And we are
14 following the similar strategy for Community Solar Revised
15 application.

16 That's it for me, and thank you very much. I
17 think now we will -- you can ask questions.

18 MR. SHEWMAKER: Thank you, Muhammad.

19 We've got Gina Rodda. She's got her hand raised.

20 Gina, go ahead and unmute yourself, state your
21 name and affiliation.

22 MS. RODDA: This is Gina Rodda from Gabel Energy.

23 If we could go back to the slide about the ESS
24 exceptions? I am loving that you guys are considering
25 exceptions associated with ADUs. And I love that no PV is

1 required for the building, hence no ESS is required, and
2 it's a choice. Perfect. It's easy to enforce. I'm not so
3 sure about the existing service from the utility is
4 underground, et cetera.

5 I'm just not sure how easy that can be enforced
6 at the plan check level and what's going to be needed to
7 support that when they go in for plan check. And if we
8 leave it for when the building inspector is out there, it's
9 too late to integrate it if it really isn't underground.

10 So that's just my concern. Thank you.

11 MR. PEREZ: Alright. Thanks Gina for the
12 comment. Surprise, I'm under Payam's screen right now, he
13 had to take off for a phone call, so I'll be playing Payam
14 for the rest of the evening.

15 Yeah, there are serious complications in these
16 systems and requiring these systems, and then in the
17 challenges that exist where existing services are creating
18 problems; right?

19 So I think we 100 percent agree with you that
20 there are difficult enforceability components of this. And
21 suffice to say, we're eager to engage with you, Gina, and
22 we're eager to try and find a middle ground here that is
23 appropriate for all parties.

24 So thanks for the constant feedback, Gina. And
25 again, look forward to collaborating with you.

1 Looks like we've got Luke Morton on the line.
2 I'm going to unmute you. And like Payam says, name and
3 affiliation, and then go forward with your question, Luke.

4 MR. MORTON: Yeah, This is Luke Morton, Morton
5 Green Building Services.

6 And just to kind of follow on with Gina's
7 comment, this one comes up a lot in, I think, for my work
8 and the work among my colleagues. I think the important
9 approach for this is to add flexibility, is to somehow get
10 the storage requirement, implement fitness, but really
11 capture virtually all the plausible, and then this is
12 specific to ADUs. The cases where that readiness will be
13 useful in the future.

14 Currently as documented or codified, it's
15 arguable that that readiness is pretty useless and I think
16 that in many cases is not going to be useful because it is
17 not correlated or not correlated with the service
18 connection.

19 And so maybe we can help in the background with
20 submitting real project types, real projects and saying,
21 hey, how can we -- what is the best way to incorporate
22 energy storage readiness into this project versus that
23 project and considering all the factors on the ground?

24 MR. PEREZ: Yeah, that's the whole point of this,
25 Luke, is to tell you what we're thinking about and then to

1 hear you out and maybe come to a collaborative conclusion.
2 So, yeah, where you have situations that present unique or
3 serious or real challenges, you know, we're all ears. You
4 know, we have to do this every three years, so we've got a
5 window to do this, right, and that window is open. And,
6 you know, we're glad you're engaging. So when you can
7 formulate those situations and give us some more detail,
8 happy, happy to engage and make sure that we can all come
9 to a reasonable agreement. Yeah, thanks, Luke.

10 Looks like Joe Cain is next up and I will pass
11 the mic to you. Go ahead, Joe Cain.

12 MR. CAIN: Thank you. Joe Cain, Solar Energy
13 Industries Association. So a couple of comments or
14 questions.

15 On your prior slide regarding community solar and
16 the 2025 for multifamily buildings, I want to -- for the
17 2025, what's stated right here on the screen, I understand
18 the sensitivities around opt-outs and that that is a
19 question that has come up, but I'm thinking about the case
20 that you have in here that you have one -- even if you have
21 individually owned units and you have one tenant or one
22 owner of one unit that wants to opt out, the probability of
23 that owner getting permission from the overall building
24 management to install a PV system as a replacement for
25 community solar to me is approximately equal to zero. I

1 just, I can't see that one.

2 So in other words, what I'm saying is that if you
3 have an opt-out from one unit as you have on the screen, to
4 me, it seems like in cases out of 10, you will not have a
5 replacement for that opt-out. So I think, and particularly
6 in the condominium or any type of thing, one owner does not
7 own it or have control over the building. So I think that
8 that piece of what you have there is not realistic, not
9 practical.

10 MR. PEREZ: Yeah.

11 MR. CAIN: And then, so that's one question, so
12 maybe I should pause there.

13 MR. SAEED: Yes. I will make a comment on that
14 one. Yes, Joe, I think it's a good comment. You are right
15 that it may -- it will be a very minor, you know, incident
16 in which a dwelling unit owner is going to apply. But we
17 just want to make sure that if that happens, even if it is
18 one out of hundred or maybe one out of thousand, our
19 standards are not -- aren't stopping them to do so; right?

20 And I will say that we here want to align our
21 requirement with single-family, that if a single-family can
22 opt out, then, yeah, the dwelling unit should be able to
23 opt out as well. Whether they are able to or not, that is
24 between them and the practical reality they are facing.
25 But our standards are not creating any hurdles for them.

1 MR. CAIN: Well, thank you for the response,
2 Muhammad. But I think that perhaps if this is something
3 that you're on track to do, I think you would need to
4 recognize that one opt out, out of a building with 100
5 dwelling units, is very different from one opt out out of a
6 multifamily building with four dwelling units. So in one
7 case, it may be a minor impact, in another case, it could
8 be a major impact.

9 So that's why I think this really needs further
10 study before I could support that.

11 And then the second point is just a question, and
12 that is, do you have a date or when you're going to release
13 the CBEC research to the public on these issues?

14 MR. PEREZ: This is Javier again.

15 No. We're kicking the tires in the software and
16 hope to have that done next week. We fully expect it to be
17 done next week. Like I said, we got a version of it
18 yesterday and want to make some minor tweaks, make sure
19 that everything works appropriately. So the intent, Joe,
20 is next week, you know, unless unforeseen challenges exist.
21 But, you know, this is the beginning of this long kind of
22 pre-rulemaking and then rulemaking journey. You know, we
23 expect kind of adoption in June of 2024 next year, so we've
24 got a little breathing room, Joe, but certainly appreciate
25 your --

1 MR. CAIN: Yeah.

2 MR. PEREZ: -- desire to get into it.

3 And, you know, we are over time, Joe, you know,
4 your other question or your other concern about the
5 variability between number of dwelling units, whether it's
6 4 or 100, certainly would appreciate more detail in
7 writing. And you know, we'd like to continue to engage.
8 You know, I think Muhammad's point is that we want to make
9 sure that we aren't creating a situation where we're
10 disallowing the situation to exist in the event that it is
11 possible.

12 So thanks again for the engagement and I look
13 forward to continuing collaborations.

14 MR. CAIN: Okay, just really quickly. I know
15 that you said that you were wishing to have comments by
16 August 9th, so the release of the CBECC research would be
17 very helpful. Thank you.

18 MR. PEREZ: Yeah, 100 percent agree. You know,
19 we expect to have another workshop here on the same topic
20 by the end of next month, so stay tuned on the notice for
21 that. And, yeah, thanks again.

22 MR. CAIN: Thank you.

23 And, Michael, I think we've got a couple of
24 comments, and then I think we've got to wrap up here
25 because we're over. I love the engagement, don't get me

1 wrong, but --

2 MR. SHEWMAKER: Yeah, we've got two questions in
3 the chat.

4 First is from Nick Brown.

5 "Could we clarify in 2025 if and how smart electric
6 panels meet the requirements for the four circuit
7 critical load sub-panel that is part of the ESS ready
8 language?"

9 MR. PEREZ: And, Danny, I think you're, hopefully
10 you're available to answer this one.

11 Is Danny Tam available?

12 MR. SHEWMAKER: Yeah, one second.

13 MR. TAM: So the comment is, how can it? My
14 understanding, that the smart panel can already meet that
15 requirement. There's split into two parts. You can do a
16 sub-panel or you have the smart panels that does it, you
17 know, to segregate the circuit internally, but we can chat
18 offline.

19 MR. SHEWMAKER: Thank you, Danny.

20 And our other question is from Luke Morton. Luke
21 is asking,

22 "Should energy consultants, including myself, submit
23 projects directly to Muhammad or how should we send
24 projects over to serve as examples for single-family
25 and single-family ADUs? Submitting to the docket is a

1 little tricky with privacy concerns and a lot of work
2 and anonymize projects.”

3 MR. SAEED: Yes, definitely. I mean, I am
4 available, and my email is muhammad.saeed.energy.ca.gov and
5 you can submit me to meet that directly and I can engage
6 with my team and we'll respond back to you.

7 MR. SHEWMAKER: And that's all we had online.

8 MR. PEREZ: Okay. Alright, now I'm going to work
9 on Payam's computer to share my screen, so stand by.
10 Almost there. Okay, so it looks like you can see my screen
11 now. So, let's wrap up here.

12 Alright, so like we've said a few times during
13 this workshop, you know, comments are expected by August
14 9th, 5:00 p.m. You know, we hope to get that software up
15 and running over the next week here.

16 Certainly, you're going to appreciate all of the
17 engagement. You know, I don't think anybody expected us to
18 go beyond 3:00 p.m. and now here we are. You know, I think
19 the whole point of this is to hear you, is to make sure
20 that we're developing a Code that we can all collaborate on
21 and that we can achieve reasonable and meaningful goals but
22 also come to a consensus or as much of a consensus as we
23 can. So, as much as you'd like, you know, I think submit
24 comments, you know, continue to engage. I hope that we can
25 get to a consensus here as we move forward.

1 Our next workshop is scheduled for August 10th,
2 Thursday, August 10th, 9:00 a.m. to 3:00 p.m. It's two
3 weeks from now. Topics to be covered are non-res HVAC
4 system requirements, nonresidential HVAC control
5 requirements, refrigeration systems, and then controlled
6 environmental horticulture.

7 If you'd like to see our drafts or the draft case
8 reports, which are Code and Standards Enhancement Team
9 reports, they can be viewed at the link at the bottom of
10 this slide, and final reports will be posted very, very
11 soon for these measures, and then subsequent measures will
12 follow as this goes on.

13 So, again, I do want to take another second to
14 say thank you so much. You know, I think we're trying to
15 get on the same page and trying to develop consensus and
16 get to a great place with this next Code, so hope to work
17 with you all again soon. Thanks. Have a great evening.

18 (The workshop adjourned at 3:09 p.m.)
19
20
21
22
23
24
25
26


REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a notary public and certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF,

I have hereunto set my hand this 22nd day of August, 2023.

A photograph of a handwritten signature in black ink on a light-colored surface. The signature is written in a cursive style and appears to read "Chris Caplan".

Chris Caplan
Electronic Reporter
CER**1971

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 22nd day of August, 2023.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852