

DOCKETED

Docket Number:	23-IEPR-03
Project Title:	Electricity and Gas Demand Forecast
TN #:	252565
Document Title:	Transcript on 8-18-23 for IEPR Commissioner Workshop on Load Modifier Scenario Development
Description:	N/A
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/10/2023 4:09:39 PM
Docketed Date:	10/10/2023

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of,)
2023 Integrated Energy Policy) Docket No. 23-IEPR-03
Report (2023 IEPR)) Re: Load Modifier
_____) Scenario Development

**IEPR COMMISSIONER WORKSHOP ON
LOAD MODIFIER SENARIO DEVELOPMENT**

WARREN-ALQUIST STATE ENERGY BUILDING
ROSENFELD HEARING ROOM, FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA 95814

Friday, August 18, 2023

10:00 A.M.

Reported By:
C. Caplan

APPEARANCES

Commissioners and Dias Members

Siva Gunda, Vice Chair

Ben Wender, Adviser to Commissioner Monahan

CEC Staff

Stephanie Bailey, CEC

Quentin Gee, CEC

Raquel Kravitz, CEC

Presenters

Alex Lonsdale, CEC

Mariko Geronimo Aydin, Lumen

Onur Aydin, Lumen

Nick Fugate, CEC

Ingrid Neumann, CEC

Ethan Cooper, CEC

Jesse Gage, CEC

Aniss Bahreinian, CEC

Maggie Deng, CEC

Public Comment

Santosh Lamichhane, Pacific Gas & Electric Company, PG&E

Alex Pusch, Southern California Edison, SCE

Claire Broome, 350 Bay Area

INDEX

	Page
Introduction	5
Stephanie Bailey, Integrated Energy Policy Report, California Energy Commission, CEC	
Opening Remarks from the Dais	
Vice Chair Siva Gunda	6
Ben Wender, Adviser to Commissioner Monahan	8
1. Behind-the-Meter Self Generation Forecast Updates	
A. Alex Lonsdale, CEC	9
Remarks/questions from the dais	28
2. Updates to Better Reflect Climate Change in the Forecast	
A. Mariko Geronimo Aydin, Lumen on Project Climate Trends and Patters of Interest to California's Energy System	34
B. Onur Aydin, Lumen on Development of Future Weather Variants	47
Remarks/questions from the dias	58
3. Hourly Load Model Updates	
A. Nick Fugate, CEC	70
Remarks/questions from the dias	89
4. Q&A: Workshop Attendees to Presenters	93
Closing Remarks for Morning	104
Break	105
Welcome Back	
Stephanie Bailey, CEC	105
Remarks from the Dais	
Vice Chair Siva Gunda	106
Ben Wender, Adviser to Commissioner Monahan	107

INDEX (CONT.)

	Page
5. Additional Achievable Energy Efficiency (AAEE) & Additional Achievable Fuel Substitution (AAFS) Updates	
A. Ingrid Neumann, CEC	107
Remarks/questions from the dais	127
Q&A from Workshop Attendees	
6. Incorporating Zero-Emission Appliance Standards to AAFS	
A. Ethan Cooper, CEC	132
Remarks/questions from the dais	153
Q&A from Workshop Attendees	
7. Baseline Transportation Forecast	
A. Jesse Gage, CEC	161
B. Aniss Bahreinian, CEC	171
C. Maggie Deng, CEC	204
Remarks/questions from the dais	213
Q&A from Workshop Attendees	
Public Comments	235
Closing Remarks and Adjourn	239
Reporter's Certificate	241
Transcriber's Certificate	242

P R O C E E D I N G S

1
2 AUGUST 18, 2023

10:00 A.M.

3 MS. BAILEY: All right. Good morning everybody.
4 I'm going to give just a moment for everybody to log on
5 and then we'll get started.

6 Okay. All right, well good morning. Welcome to
7 today's Commissioner Workshop on Load Modifier Scenario
8 Development. I'm Stephanie Bailey with the Integrated
9 Energy Policy Report Team or IEPR for short, here at the
10 CEC.

11 This workshop is being held as part of the CEC's
12 proceeding on the 2023 IEPR. And today we're doing a
13 hybrid workshop. We're using Zoom and we're also
14 meeting in person. So, for those in the room today,
15 videos of the presenters and Commissioners on the dais
16 are being broadcast over Zoom. And everything displayed
17 over Zoom is also being shown on the screen in the room.

18 This workshop is being recorded and a recording
19 will be linked to the CEC website shortly after the
20 workshop and a written transcript will be available in
21 about a month.

22 To follow along, the schedule and slide decks
23 have been docketed and posted on the CEC's IEPR webpage,
24 and hardcopies of the meeting schedule should also be
25 available for in-person attendees.

1 Attendees can provide comments on the material
2 being discussed today in a few ways. Can definitely
3 make comments during the public comment period at the
4 end of the day. And please note that while we look
5 forward to hearing public comments, we won't be
6 responding to questions during the comment period. And
7 those comments will be limited to three minutes or less.

8 For those in the room who'd like to make a
9 public comment, you can raise your hand at the
10 appropriate time and staff will direct you to the
11 correct spot.

12 We'll also be taking public comments from remote
13 participants, so you can use the raise hand function in
14 Zoom, which looks like a high five, or *9 on your phone
15 during the public comment to let us know you'd like to
16 comment.

17 And written comments are welcome and
18 instructions for providing those are in the workshop
19 notice. And those are due by 5:00 p.m. by September
20 1st.

21 So, with that I will turn it over to Vice Chair
22 Gunda for opening remarks. Thank you.

23 VICE CHAIR GUNDA: Thank you very much. Welcome
24 everybody. I think we have participants online, just
25 want to begin by thanking the IEPR team for setting the

1 stage for today's important discussion. Also want to
2 thank all the public participants. You know, the IEPR
3 is only as good as the public participation and
4 engagement, and all the perspectives we hear along the
5 process. So, thank you, everybody, for taking the time
6 to both join here in the room, but also online.

7 I want to just share a couple thoughts at the
8 high level. We had our first segment of the forecasting
9 workshop two days ago. A really helpful discussion on
10 the inputs, especially the econ demo. Inputs, but also
11 thinking through what the forecast has been and what
12 it's going to be moving forward and the evolution of
13 that. You know, it can be understated how important the
14 forecasting process is for the broad resource planning
15 for the state, the reliability planning, and thinking
16 through various policy options.

17 And I just want to thank Nick, and Heidi, and
18 all the forecasting team for all the work they have been
19 doing to just move the forecasting from a single point
20 estimate, which worked for a while, to this kind of
21 policy laid scenario development, which helps both to
22 think through the resource planning, but also helps back
23 some of the policy decisions that we have to do.

24 So, thanking the team and looking forward to the
25 discussion.

1 So, then I'll pass it on to Ben Wender. I want
2 to acknowledge that Commissioner Monahan is the Lead
3 Commissioner. I'm supporting her on the IEPR this year.
4 She's not able to join today, so Ben's filling in for
5 her. And Commission McAllister will be here at some
6 point. Thank you.

7 MR. WENDER: Thanks Vice Chair Gunda. For those
8 expecting to see Commissioner Patty Monahan, she sends
9 her regrets. She's a little under the weather. And I
10 have the pleasure of sitting up here with the Vice Chair
11 and learning from our esteemed forecast team.

12 Couldn't agree more with the incredible
13 importance of the demand forecast and really being the
14 tip of the spear, and helping our state achieve the
15 transition to zero emission transportation systems, and
16 decarbonizing electricity supply while maintaining
17 reliability, affordability, and increasing our
18 resilience to a rapidly changing climate.

19 You guys have done a number of exciting
20 improvements to the forecast framework, to the models
21 and assumptions that are put into it. Really excited to
22 hear about those advancements today, and appreciate the
23 opportunity to learn from all of you.

24 So, with that, I look forward to jumping into
25 the discussions.

1 VICE CHAIR GUNDA: Thank you, Ben. With that, I
2 will pass it to Alex to start it. Or, Heidi, I'm
3 sorry.

4 MS. JAVANBAKHT: Good morning everyone. So, our
5 first presenter today is Alex Lonsdale. Alex is the
6 Supervisor of the Distributed Generation Forecast Team.
7 And he will be talking about behind the meter -- the
8 behind-the-meter self generation forecast update.

9 MR. LONSDALE: All right, good morning everyone.
10 As Heidi said, I'm Alex Lonsdale, Acting Supervisor for
11 Demand Forecasting Unit and Supervisor for Distributed
12 Generation Forecasting to support the 2023 forecast.

13 Next slide. Before I hop into forecast-specific
14 updates, I do want to highlight changes to our
15 historical behind-the-meter distributed generation
16 estimates.

17 Next slide. For the 2023 energy demand forecast
18 we have refreshed our historical behind-the-meter solar
19 PV and storage cumulative capacity estimates.

20 Refinements include shifting to a single data
21 source for behind-the-meter solar PV and energy storage
22 capacity information, as well as improving and expanding
23 data cleaning tools. Refinements will be discussed in
24 detail on the following slides.

25 Next slide. Previously, CEC staff relied on

1 three data sets to estimate historical cumulate behind-
2 the-meter solar and storage energy capacity.

3 Historical behind-the-meter energy storage
4 capacity was estimated from a combination of CPUC's Self
5 Generation Incentive Program, or SGIP, and Rule 21
6 interconnection data that CEC collects.

7 This year, staff has transitioned to utilizing
8 the utility distribution company, or UDC,
9 interconnection data, which CEC collects under the
10 California Code of Regulations, Title 20, to estimate
11 historical cumulate distributed generation capacity.

12 This dataset includes a list of all interconnected
13 energy systems located within each utility service
14 territory.

15 The data we collect from the UDC, or utilities,
16 includes unique formatting or data entry errors in some
17 cases, which must be addressed to estimate historical
18 distributed generation capacity.

19 Previously, staff manually cleaned the utility
20 interconnection datasets to resolve data issues. This
21 involved manually going into Excel workbooks submitted
22 by the utilities, looking for errors in interconnect
23 approval dates, technology types, and the
24 interconnection agreement type.

25 For the 2023 forecast, staff have developed

1 data cleaning scripts to improve accuracy of our
2 estimates. The following slides will highlight how our
3 revised historical data cleaning process has impacted
4 historical distributed generation cumulative capacity
5 estimates.

6 Next slide. And now that I've introduced
7 changes to the historical capacity estimation process, I
8 will present charts which reflect current and past
9 forecast cycles estimates of historical behind-the-meter
10 solar adoption.

11 Next slide. Starting with a low resolution
12 comparison, in the following chart we have the 2022
13 cumulative capacity estimates, the gold line, and the
14 2023 forecast cycle cumulative capacity estimates, the
15 dark blue line.

16 Y-axis units are AC nameplate capacity cumulative
17 megawatts, and the X-axis is calendar year spanning from
18 2004 to 2022.

19 For the 2023 energy demand forecast we estimate
20 there's about 14,220 megawatts of behind-the-year solar
21 capacity by end of calendar year 2022.

22 You'll note overall to the historical period
23 that our 2023 estimates are lower than the CED 2022. In
24 2021, our cumulative capacity estimates are roughly 7
25 percent lower than last year.

1 Next slide. The following chart format is the
2 same. However, this chart is specific to a majority of
3 the CAISO footprint. These estimates cover the PG&E,
4 SCE, and SDG&E service territories.

5 In addition, you'll note there's an additional
6 line in this chart, the light blue dashed line, which is
7 representative of the DG stats cumulative capacity
8 estimates. DG stats includes public reporting of
9 historical cumulative capacity estimates per distributed
10 generation within the IOU service territories. For
11 solar this includes NEM interconnection agreements.

12 Overall you'll note that our cumulative capacity
13 estimates for the 2023 forecast are well aligned with
14 the DG stats cumulative estimates. However, you'll not
15 that our estimates are slightly higher than DG stats, as
16 CED estimates include NEM and Rule 21 non-exporting
17 interconnection agreements.

18 In calendar year 2022, you'll note that our
19 cumulative capacity estimates are 244 megawatts higher
20 than the DG stats estimate, which is a percent
21 difference of about 2 percent.

22 Next slide. The following chart again presents
23 the behind-the-meter solar adoption for PG&E's service
24 territory in this case. The three same lines exist in
25 this chart.

1 There is a table to the left of the chart which
2 summarizes cumulative capacity. You'll not again that
3 the same patterns exist in this dataset, where our 2023
4 estimates are lower than the 2022 forecast and well
5 aligned with the DG stats estimates.

6 Next slide. The following chart is specific to
7 the SCE service territory. Again, similar patterns
8 exist in this dataset, where our 2023 forecast estimates
9 are lower than the 2022 forecast.

10 Our calendar year 2022 estimate are about 47
11 megawatts higher than the DG stats estimate, which is a
12 percent different of about 1 percent.

13 Next slide. Finally, we have the SDG&E service
14 territory. You'll note that of the charts that I've
15 presented today on behind-the-meter solar that our
16 cumulate capacity estimates are most narrow or
17 dissimilar across these three datasets.

18 Our calendar year 2021 estimates, this year are
19 about 10 megawatts lower than the 2022 estimates. And
20 our calendar 2022 estimates, for the 2023 forecast, are
21 roughly 25 megawatts higher than the DG stats estimate.
22 This is a percent difference of about 1 percent.

23 Next slide. That concludes today's overview of
24 historical behind-the-meter solar adoption, changes for
25 the 2023 forecast.

1 Next, I will present updates to historical
2 behind-the-meter storage adoption.

3 Next slide. Before I present charts, I do want
4 to note a couple things. The previous CED estimates, as
5 mentioned previously, are based off of the SGIP and Rule
6 21 interconnection data. And the 2023 estimates are
7 derived from utility interconnection datasets.

8 The CEC staff have reached out to IOUs and the
9 CPUC to resolve discrepancies shown in the following
10 slides. If there are updates, staff will provide these
11 as soon as possible in an upcoming workshop.

12 Next slide. The first chart depicts behind-the-
13 meter storage adoption for the SDG&E service territory.
14 Overall you'll note that our 2023 forecast estimates are
15 well aligned with the DG stats cumulative capacity
16 estimates.

17 Whereas our 2022 forecast estimates are much
18 lower in the historical time series. This is mainly a
19 product of shifting away from the SGIP and Rule 21 data,
20 and capturing capacity from the interconnection
21 datasets.

22 Next slide. Taking a closer look at the
23 cumulative behind-the-meter storage capacity across
24 SDG&E's service territory, you'll note that our
25 residential cumulative capacity this year is much higher

1 than the 2022 forecast. Whereas our nonresidential
2 cumulative capacity estimates are well aligned with the
3 2022 forecast.

4 This is mainly a product of what is captured in
5 the SGIP data, as well as the Rule 21 interconnection
6 data.

7 Next slide. As I mentioned before, we're still
8 working through some data discrepancies. And you'll
9 notice that our cumulative capacity estimates for the
10 2023 forecast are in fact higher than both DG stats
11 estimates and the 2022 forecast.

12 Specifically, our calendar year 2022 estimates
13 are about 49 megawatts higher than the DG stats
14 estimate.

15 Next slide. Taking a closer look at the sector
16 level cumulative capacity, you'll note that our --
17 again, on the residential end, our cumulative capacity
18 estimates are much higher than what we captured in the
19 2022 forecast. Again, shifting to utilizing the
20 interconnection datasets submitted by the utilities.

21 On the nonresidential end, we have a lot more
22 cumulative capacity captured from the interconnection
23 datasets when compared to our 2022 forecast and the DG
24 stats estimate.

25 Next slide. Finally, we have cumulative

1 capacity estimates for the PG&E service territory.
2 You'll note overall, again, that our estimates are
3 higher than last year and are in fact higher than the DG
4 stats estimates as well.

5 Next slide. Taking a closer look at cumulative
6 capacity estimates by sector, you'll note that our
7 residential estimates again are much higher than last
8 year. However, our 2023 forecast cycle nonresidential
9 cumulative capacity estimates are lower in calendar
10 years 2020 and 2021. This is likely a product of
11 records in the SGIP or Rule 21 data, where customer
12 sector is not provided and it was possibly
13 misclassified.

14 Next slide. This concludes my overview of
15 historical cumulative capacity updates for the 2023
16 forecast cycle.

17 The following slides are going to capture
18 improvements we made to forecasting distributed
19 generation for our 2023 forecast.

20 Next slide. For the 2023 forecast, the CEC has
21 adopted NREL's dGen model. Energy Commission staff
22 worked with NREL over the last year to develop a
23 California-specific version of their model. CEC will
24 use the staff to forecast adoption of standalone PV, as
25 well as PV + storage.

1 Next slide. But more specifically, what is the
2 dGen model? Broadly, dGen model is a market penetration
3 model which simulates adoption of distributed generation
4 technologies.

5 It includes a market diffusion model that
6 determines rates of distributed generation adoption and
7 maximum market share from modeled economic potential,
8 including net present value and payback period.

9 As more consumers adopt distributed generation
10 technologies in the model, there are in fact fewer
11 available adopters in the future years of the model.

12 The California-specific dGen model includes key
13 policy updates, including the net billing tariff, as
14 well as the investment tax credit.

15 Next slide. As folks are probably aware, the
16 CPUC adopted the Net Billing Tariff in late 2022 as a
17 replacement to Net Energy Metering, NEM 2.0. This went
18 into effect for interconnection agreements beginning of
19 April of 2023.

20 Electricity exported to the grid under this
21 tariff is compensated in accordance with the Avoided
22 Cost Calculator. And the ACC values excess energy
23 exported to the grid based on marginal costs of
24 providing electric service to customers.

25 The PG&E and SCE customers receive additional

1 credits to make payment reductions more gradual. And
2 this is referred to as the glide path in the tariff.

3 Next slide. Federal government extended the
4 ITC as part of the Inflation Reduction Act in August of
5 2022.

6 VICE CHAIR GUNDA: Just a quick question.

7 MR. LONSDALE: Of course.

8 VICE CHAIR GUNDA: Just a quick question on the
9 previous slide. Isn't there a provision in that billing
10 tariff for low-income as a specific provision? How are
11 we -- are we taking that into account?

12 MR. LONSDALE: So, from a modeling perspective
13 we don't have specific -- we haven't set up our inputs
14 and assumptions to have a break out of care versus non-
15 care customers. However, we do have a version of the
16 model that we are working to learn about and build out
17 assumptions for. We have income bracketed, inputs and
18 assumptions.

19 So, there would be a way, yes. There is a
20 provision and would be able to, in other scenarios,
21 simulate adoption for this low-income bracket where
22 there's a change in the export rate that's how the
23 excess energy is compensated.

24 But for our key tool that we'd be using for our
25 2023 forecast, our baseline, that is not something that

1 is captured in the inputs and assumptions.

2 VICE CHAIR GUNDA: Do we -- we can talk about
3 this separately or follow up but just, you know, just
4 understanding how big of a magnitude that could be.

5 MR. LONSDALE: Sure.

6 VICE CHAIR GUNDA: It would be good just to have
7 a flag on as we move forward in the public setting.

8 MR. LONSDALE: Absolutely.

9 VICE CHAIR GUNDA: Thank you.

10 MR. WENDER: Yes, maybe I can ask one question
11 since we're on the net billing tariff changes, and
12 probably worth thinking about this, and don't have to
13 answer it now. But one of the things we saw in an
14 earlier IEPR workshop this year was the state's IOUs
15 showing the number of applications through Rule 21 that
16 they're receiving and just this, you know, massive
17 increase in Rule 21 applications associated with the
18 phase in of the net billing tariff.

19 And I think we're thinking through how that
20 large step function increase in applications manifests
21 in our forecast and in the historical tracking. So, I
22 don't know if you have thoughts or answers on it now,
23 necessarily, but something we'll have to put a pin in
24 and think through as the forecast continues.

25 MR. LONSDALE: Yeah, thanks for that comment,

1 Ben. I do have some initial thoughts and I do think
2 that our model is not going to be able to capture this
3 consumer adopter behavior where we're switching over
4 from one tariff to the next.

5 However, I do think it's something that we need
6 to keep an eye on in our forecasting period. And if we
7 are able to gather data that it's reflective of sort of
8 interconnections that are -- we are expecting, or the
9 level of interconnection that we're expecting that we
10 adjust our forecast to capture the spike of adoption, or
11 the spike of installations resulting from a shift to a
12 new tariff.

13 VICE CHAIR GUNDA: While we are on the
14 questions, I just want to ask one more and we'll be
15 done. So, the when do we, in the process, capture
16 community solar storage and how do we capture that, at
17 all?

18 MR. LONSDALE: Community solar would be not
19 specifically broken out as an agent in our model. So,
20 that's probably not something -- like the economics of
21 the community solar is probably -- well, is not
22 something that would be simulated.

23 Our model is more looking at individual
24 adopters, individual commercial adopters, or individual
25 residential installation. That's something I think we

1 need to think through in more detail at a separate
2 meeting, and discuss in more detail. Just because it's
3 not something our model is configured for is the
4 community solar installations.

5 VICE CHAIR GUNDA: Yeah, so just on that, just a
6 recommendation for us to kind of put the pin here. At
7 the end of the day we are looking at sending the results
8 to PUC, and then PUC is kind of thinking through others
9 and then they're thinking through the supply side,
10 right, the IRP.

11 MR. LONSDALE: Uh-hum.

12 VICE CHAIR GUNDA: To the extent that we are
13 going to have the community solar and storage become a
14 larger portfolio, I think you'll begin to have
15 significant adder, right, slowly kind of creeping, to if
16 it's not accounted for somewhere.

17 So, to the extent that if it is accounted for,
18 it will be good to have it on the public record. If it
19 is not, kind of just setting the stage on where in the
20 process we would imagine incorporating that on the long
21 term would be really helpful.

22 Because I would imagine the push for community
23 solar and storage both from the Legislature, and kind of
24 broadly the advocacy we'll begin to see that portfolio
25 grow, and just thinking through that.

1 MR. LONSDALE: Absolutely and I think that's an
2 important flag to raise. Just with our model, how it's
3 set up, as I mentioned, it's not something -- an agent-
4 based model in terms of residential end consumption.
5 The model is set up to think of individual adopters,
6 what is the economics of installing solar in my home.
7 And I think that's an interesting paradigm shift where
8 you're now thinking about what if this economics was
9 based upon a group of individuals that were installing
10 solar.

11 Now, I do want to mention, though, for new solar
12 installations we do have a separating forecasting tool
13 that I'm going to highlight in future slides. The dGen
14 model, which is what I'm describing here, and updates to
15 the dGen model does not capture new construction build.

16 And so, that is something that's completely
17 separate, where we model the impacts of Title 24,
18 residential solar installations on new homes and
19 commercial buildings exogenously from the dGen model.

20 So, there's some overlap there, but it's just
21 thinking through would the solar installation be on the
22 single home or would it be collectively installed and
23 say the neighborhood, or nearby. So.

24 MR. WENDER: Yes, I was going to ask a similar,
25 and partially overlapping, but interconnection

1 applications through like the wholesale distribution
2 access tariff, or distribution connected resources that
3 aren't necessarily behind the customer meter could fit
4 the community solar.

5 And so, I'm not sure where within our various
6 forecasting efforts that fits. But is wholesale
7 distribution access tariff interconnections reflected in
8 the datasets you get from IOUs or is it not included in
9 those?

10 MR. LONSDALE: So, WDAT tariffs are included in
11 the interconnection data, but we do not consider it as
12 behind-the-meter distributed generation capacity because
13 of how it's interconnected and interacting with the
14 grid.

15 Like I said in the interconnection slides, the
16 records that we're looking at are NEM interconnected
17 systems, as well as the Rule 21 non-interconnected
18 systems that are connected to the distribution system
19 that are specifically built out to serve onsite load.
20 That is what we're capturing.

21 All right, so I think investment tax credit.
22 I'm just going to highlight that again. For the 2023
23 forecast cycle we have captured the extension of the
24 investment tax credit, which was extended in August of
25 2022 as part of the Inflation Reduction Act. It's now

1 extended through 2034 and incorporated in our forecast.

2 The IRA also -- or, the ITC tax credit extension
3 also introduced a new tax credit for standalone storage
4 installation. And just to highlight, the ITC provides a
5 tax credit of up to 30 percent of installation cost for
6 distributed generation.

7 Next slide. The staff have compared
8 preliminary results from the dGen model to finalized
9 2022 forecast cycle results.

10 In the chart, shown here the Y-axis units are
11 cumulative megawatts of capacity and the X-axis is
12 calendar year spending from 2020 to 2035.

13 The green line is our preliminary dGen model
14 projects, with inputs based on the 2022 demand forecast.
15 The gold line is our 2022 energy demand forecast.

16 You'll note that the adoption trends from these
17 forecasts are different, resulting in varying levels of
18 cumulative solar capacity in intermediate forecast
19 years. Whereas the long-term adoption in calendar year
20 2035 is very similar.

21 Preliminary dGen model results depict less
22 growth and capacity from calendar year 2032 to 2035.
23 There are a few key drivers for reductions in added
24 capacity in the modeling work.

25 This includes the reductions and eventual

1 expiration of the ITC Tax Credit. I haven't mentioned
2 this, yet, but in the ITC, in 2033 and 2034 the tax
3 credit is reduced from 30 percent to 26 percent and 22
4 percent, respectively, until it expires in 2035.

5 The pace of adoption, our market diffusion
6 model's also controlled by year-to-year changes in
7 economics. The maximum market share is determined by
8 the level of economic attractiveness or the payback
9 period that each agent is simulated to have.

10 Last, there a finite supply of existing solar
11 access roof space that is modeled. Again, it doesn't
12 capture new construction.

13 Throughout the forecast period there is a
14 shrinking level of potential adopters as well, which
15 impacts the level of adoption.

16 More insights will be provided when staff have
17 prepared revised model runs with the forecast inputs to
18 2040, for the 2023 forecast cycle.

19 Overall, I would note that staff expects the net
20 billing tariff to have a downward effect on solar
21 adoption due to longer payback periods from lower
22 compensation rates. Whereas the ITC extension would
23 have an upward effect on solar adoption due to the tax
24 credit.

25 Next slide. So, as I mentioned before, the dGen

1 models is able to capture the adoption of paired
2 storage, but it does not -- it is not set up to forecast
3 standalone storage.

4 In the past, our long-term storage capacity
5 projects were based on forecasted growth rates for solar
6 PV. With the adoption, the dGen model staff are able to
7 project the capacity from paired storage.

8 And so, what we've done here is we have had to
9 set up a separate model to capture standalone storage.
10 At the August 8th DAWG, staff had presented preliminary
11 forecasting methods relating Lazard's levelized cost of
12 storage estimates and historical storage installations.

13 Since that workshop, staff have worked to
14 compile analysis from the SGIP historical storage
15 installation costs using -- in conjunction with SGIP
16 historical storage additions to develop a linear
17 regression model.

18 Forecasting storage predictions are determined
19 from project storage costs, which serve as an input to
20 our regression model.

21 And in the chart, you can see here there is a
22 plot of historical storage additions behind the meter,
23 as well as the total eligible costs per kilowatt hour.

24 Next slide. To extend total eligible cost
25 through the forecast period, staff used NREL's annual

1 technology baseline data to calculate annual percent
2 decrease in costs. In the chart you will note there are
3 three lines.

4 The light green dashed line is the historical
5 trends based on actual estimated total eligible costs,
6 which is the red line. And then, the green line is the
7 forecasted total eligible cost through the forecast
8 period.

9 You'll note that total eligible cost declined
10 substantially from 2022 to 2023, which accounts for the
11 introduction of the ITC standalone tax credit.

12 And at the end of the forecast period, in 2035
13 you'll notice that the total eligible cost increased
14 slightly in a result of the expiration of the ITC tax
15 credit.

16 Our preliminary forecast results show annual
17 storage capacity additions increasing 35 percent by
18 calendar year 2040.

19 In comparison, results to our 2022 forecast will
20 be available at a future workshop.

21 Next slide. We do have some updates to our
22 Title 24 forecasting method, which I mentioned earlier.
23 Staff forecasts PV installations due to Title 24
24 building standard separate from dGen. Standards require
25 new buildings, both residential and nonresidential, to

1 include solar PV installations.

2 Staff are working with the Standards Compliance
3 Branch in the Efficiency Division to leverage
4 certificate of installation data to more accurately
5 estimate the capacity of compliance-based residential
6 solar PV installations.

7 Staff will also be using updated Commercial
8 Buildings Energy Consumption Survey, or CBECS, data to
9 reflect the latest survey for 2018, which was released
10 in December of 2022.

11 This survey is used to gather information on
12 buildings, including the building type, the number of
13 floors and tenants, which affects commercial PV
14 requirements.

15 Next slide. That concludes my presentation
16 today. I'd like to thank public participants,
17 Commissioners and stakeholders for their attendance
18 today. I would encourage folks to review the link
19 provided here to our August 8 DAWG for more information.
20 Thank you very much.

21 VICE CHAIR GUNDA: Yeah, Alex. First of all,
22 thank you so much for helping move the changes in a very
23 collaborative fashion. And I really appreciate the time
24 you take to dig into details and being able to explain
25 them to me.

1 So, I think for me it's kind of a couple of
2 comments just as a flag, no more questions, then we can
3 follow up.

4 At the top of your presentation or in the
5 forecasting presentation it will be really helpful to
6 the earlier points on depending -- you know, so we have
7 the bulk side, you know, bulk grid storage and solar,
8 which is on the supply side. Anything that the IRP does
9 not capture in their process, where are we capturing
10 different elements, right.

11 So, as you said, dGen is specifically for
12 individual actors. So it's essential and commercial.
13 But are there elements that are incremental to that, and
14 if it all are they captured, where are they captured.
15 Just having that slide for public's view would be really
16 helpful.

17 And the second one, just on the -- kind of
18 getting the clarity. So, what I took from the input
19 data is we have historically overestimated solar and
20 underestimated storage penetration, right. So, we are
21 now kind of correcting that.

22 So, to me, if you overestimate solar, from a
23 reliability standpoint hopefully we were planning for a
24 deeper duck, duck curve. But, you know, I don't know.
25 So, I think it will be helpful to understand the

1 implications on the reliability. Right, so from these
2 changes. Because it's like now moving into hundreds of
3 megawatts and it's like when we're tight, it's really
4 tight.

5 The last one is on your storage estimate solar
6 and storage estimate. If you can open up your slide
7 deck again, just I think four or five slides back.

8 The Preliminary Comparison of Models, that's the
9 slide title. Okay, yeah. Great.

10 Just on this one, so again for the record what
11 you were sharing is the dGen model is looking at the
12 existing stock primarily, and the penetration of behind-
13 the-meter solar and storage in the existing stock of
14 buildings. Right.

15 And then, incremental to that, you know, we have
16 the new buildings that you're coordinating with the
17 Efficiency Division on Codes and Standards, and the
18 implications of that. So, we have two parts.

19 So, on this specific element, I think we kind of
20 discussed a little bit during our internal meetings. It
21 will be helpful to understand. What I see here is kind
22 of a tapering of a S curve at the top, right. So, by
23 2035 we are tapering about, you know, you 30,000
24 megawatts on the existing stock side.

25 So, just want to understand is that the total

1 adjustable market, are we capping it? What's happening
2 on that particular instance, right.

3 So, if I take every building in California, like
4 existing stock, what's the total market and are we
5 approaching the maximum penetration based on your model
6 here would be helpful to have.

7 MR. LONSDALE: Definitely, we can provide slides
8 or insights to that in a future workshop. I think part
9 of it, again, isn't necessarily that we're capping on
10 the total available roof space and what could be
11 installed, it's that we're capping on the model's market
12 share that is penetrated based upon the economics of
13 installing solar.

14 So, that's something that we have to look into
15 closer because you're assuming certain levels of market
16 share adoption based upon different research that has
17 been performed. And we're using NREL's baseline
18 assumptions for payback periods relative to market
19 share, and that's something that we need to look into
20 closer, but we can describe in more detail.

21 VICE CHAIR GUNDA: That is great. I think, you
22 know, what is that 32,000 megawatts, you know, compared
23 to in terms of market share. Right. So, if we are
24 saying the current economics based on the different
25 policies we have and the market side, prices and all, we

1 are going to cap at X amount of market share.

2 The immediate question beyond forecasting,
3 right, on the policy side would be what can we do to
4 increase that market share, or should we not, or should
5 we, right. So, those are the kinds of questions in
6 advocately (phonetic) this information will help shape,
7 so would love to get that information on the record.
8 Thank you.

9 MR. LONSDALE: Certainly.

10 MR. WENDER: Yeah, and I'll jump in on the dGen
11 model, which tremendous work getting that folded into
12 the forecast, and starting to move to this kind of
13 diffusion, S curve based adoption.

14 Is it really -- is adoption predominantly driven
15 by payback or are there other factors within the model
16 that influence an individual decision to adopt, you
17 know, solar and storage?

18 And I guess the second question is are there
19 continued reductions in the costs of these resources
20 factored into the model or do they -- and how do those
21 evolve over time?

22 MR. LONSDALE: Yeah, great questions, Ben. I'll
23 start with your second question about assumptions about
24 system costs. So, in dGen model there are assumptions
25 about technology costs. We leverage the annual

1 technology baseline projections that are available on
2 NREL's website, but they are included in the model
3 simulations for estimating the key economic parameters
4 that are in fact influencing the adoption.

5 So, yes, as well the key drivers of this model
6 are the economics of installing solar. This is the key
7 drivers that are determining if the agents will adopt
8 solar in the model.

9 Again, the key parameters being the net present
10 value of the system that is presented and simulated
11 through several years of owning the system, or the
12 lifespan of the system, as well as just the overall
13 payback period of that system.

14 VICE CHAIR GUNDA: Great, thank you. I think we
15 could probably move to the next section. Just flagging
16 that I -- Heidi, and everybody in the room, I need to
17 step out a couple of times from the meeting and I'll
18 hand it off to Ben. I need to jump out at 10:45 and
19 I'll be back. And I need to jump out at -- you know,
20 thank you.

21 MS. JAVANBAKHT: Okay. And before we jump into
22 the next presentation I just want to note with our
23 schedule for today we're taking Q&A from the attendees
24 after all of the presentations this morning. We'll have
25 more Q&A time during the afternoon session and between

1 presentations, and then the public comment period is at
2 the very end of the day, approximately 4:15.

3 Okay, with that I'm going to turn it over to
4 Mariko Geronimo Aydin, with Lumen. She is a Chief
5 Economist and the co-founder of Lumen Energy Strategy.

6 MS. AYDIN: Thank you. Good morning. First
7 slide, please. Next slide, please.

8 I'm here to talk about the new climate
9 projections for California and to give you a tour of
10 some of the trends and patterns we're seeing in the data
11 that are relevant to demand forecast.

12 So, I'll first start by giving you a brief
13 overview of what I mean by new climate projections for
14 California. And then, I'll take you through a few
15 summaries of the data, including high level temperature
16 trends in California and what that looks like when we
17 zoom down to the weather station level. What
18 temperature increases might look like in terms of number
19 of hot days 30 years from now versus today. And then,
20 what heat waves might look like in the future and how
21 they might change in duration and severity.

22 Next slide, please. I think we skipped a slide.
23 Thank you. This graphic on the left I'm sure looks very
24 familiar to you. It's the key takeaway from the IPCC's
25 latest outlook on what might happen to global

1 temperature changes through the end of the century. And
2 it's shown under different climate scenarios, or SSPs.

3 It's supported, these projections are supported
4 by a whole suite of global climate models, or GCMs, and
5 together these model projections are sometimes referred
6 to as the CMIP6 projections.

7 If anyone on the line or in the room, if you're
8 head is swimming and you think you've heard too many
9 acronyms just now, you're right you have heard too many
10 acronyms. I just wanted to get them out of the way.

11 So, the climate projects, they come with their
12 own language and terms, which we're now all working to
13 add to our energy vocabulary.

14 So, the important terms are the ones -- for this
15 presentation are the ones I just mentioned. They're
16 also shown on the right.

17 And I'll just add to that, there is some
18 terminology around how we talk about the historical
19 period. So, the historical period, you can think of it
20 as something that you've observed, so historical
21 observed. That, for example, would be a measurement
22 taken at a weather station.

23 You can think of the historical period as
24 something that you can reconstruct. So, if you're
25 trying to figure out temperatures between two

1 observations, two weather stations that's something that
2 you can model.

3 Or, you can think of the historical period as
4 something that you can model. And when you model the
5 historical period, you're not necessarily looking to
6 recreate what actually happened.

7 You might be modeling to look at and explore the
8 possibilities of what could have happened in a prior
9 year. And that's what the GCMs are doing. So, the GCMs
10 are modeling both the historical period and the future
11 period.

12 And these IPCC projections, they're very rich in
13 information, but they're at the global scale. The CEC
14 has been working with the climate science community to
15 take these projections and bring them to a finer level
16 of detail, so we better understand what's going on in
17 California.

18 So, the slide in the middle, that's from a
19 recent CEC presentation and it just demonstrates how the
20 raw GCM outputs are being downscaled to a finer spatial
21 granularity to 45 kilometers, 9 kilometers, and even for
22 some runs the 3-kilometer level.

23 And this is -- downscaling is a very difficult
24 thing to do. That, in itself, comes with a whole suite
25 of models. But the good news is we're starting to see

1 the results of that effort and that's all feeding into a
2 variety of planning, adaptation and mitigation efforts
3 in the state.

4 Next slide, please. And before I go further, I
5 want to offer a few clarifications on how we're
6 approaching and interpreting these data.

7 The number one thing we have to keep in mind is
8 that no one can predict the future, and we're all well
9 aware of that I'm sure.

10 The climate projects, they're rich, they're
11 detailed, they have a lot of information about the
12 knowable possibilities of the future, but like any data
13 they do have limitations. And really, nothing is going
14 to get around the fact that the future is uncertain and
15 that we have to make some judgment calls when we're
16 using the data for planning and for risk management.

17 But you'll see us walk the line sometimes of
18 trying to get the most information we can out of the
19 data, but also keeping in mind those limitations and
20 uncertainties so that we don't fall into the trap of
21 taking the projections too literally, and from that
22 creating false precision in our planning.

23 You'll also notice in my slides that I focus a
24 lot on high temperatures. There is a lot more than that
25 in the projections. We are looking at hourly

1 temperatures across different years, different GCMs,
2 different climate scenarios. And then, there are other
3 really useful metrics in the projections as well.

4 And for the stakeholders here, on the line, in
5 the room, if you're interested in learning more about
6 climate projections and exploring the data, I highly
7 recommend getting familiar with the Cal-Adapt tools.
8 The CMIP6 downscale projections, they're sort of hot off
9 the press, so they're still in the process of getting
10 integrated into all these tools. But they do have a lot
11 of great data resources and visualizations, so please
12 check that out.

13 Next slide, please. And now with that said,
14 I'll start you off with a look at the long-term climate
15 trends for California. And you may have seen different
16 versions of this in the past.

17 But this chart shows for each year, 1980 through
18 2100, an average of summer daily max temperatures. And
19 to get -- you'll remember that the downscaled data are
20 very spatially granular. So, to get this bird's eye
21 view for the state, instead of taking a simple average
22 across every part of the state, what we did was we
23 looked at temperatures for every weather station used in
24 demand forecast. And then, we took a weighted average
25 of that using the station weightings, also used in

1 demand forecast. And that's for the CAISO footprint, I
2 should clarify.

3 So, you can think of this more of a demand
4 weighted average of temperatures for the CAISO
5 footprint.

6 And also, we're showing five data series here.
7 One is historical observed. And then the other four are
8 four GCMs from the 7.0 scenario. And remember, the GCMs
9 are modeling both the historical and future period.

10 And so, what we see here for California
11 specifically is, number one, there's a clear upward
12 trend, which should be of no surprise.

13 And then, we also observed that for any
14 particular year there's a range of possible outcomes for
15 that year.

16 And these two takeaways, they present some very
17 difficult planning challenges. As the trend might be
18 telling us we can generally expect max temperatures to
19 go up. But if we're trying to figure out what a mild
20 versus extreme year looks like in 2030, or 2050, clearly
21 we see a departure from historical patterns. But we
22 can't just take the climate projections literally for
23 that one year and say, yeah, that's all that could
24 possibly happen in that year.

25 To do that, when you only have one run from each

1 GCM, you would have to be pretty confident that the GCMs
2 are getting the exact timing of weather cycles right,
3 which is not the best use of these projections.

4 So, it does take some interpretation and
5 translation of those projections to figure out, well,
6 okay, what is the range of possibilities, possible
7 weather outcomes for any one particular demand forecast
8 year.

9 And Onur, in his presentation, he'll talk more
10 about that and how we try to figure that out.

11 Next slide, please. So, the climate
12 projections, they are spatially granular. You don't
13 really see that in what I just showed you, in the CAISO-
14 wide summary.

15 So, here we're showing temperatures through end
16 of century at six different weather stations across the
17 state. And instead of showing the historical observed
18 plus four GCMs, we're just showing one GCM. So, that's
19 modeling both historical and future period.

20 And then, for each year we're showing three
21 temperatures. We're showing the coldest one percent of
22 temperatures as the bottom line, the hottest one
23 percent of temperatures as the top line, and average
24 temperatures as the middle line. So, you can see how
25 those are different and how they trend differently as

1 well.

2 Different weather stations, they have different
3 ranges of temperatures that they experience. So, the
4 more coastal weather stations on the left, they have a
5 narrower band of temperatures versus the inland, more
6 inland weather stations on the right with a wider band.

7 And the high-low temperature, the high versus
8 low temperatures, they can trend very differently. If
9 you look at the bottom right, for the Gillespie or
10 Santee weather station for example, the average
11 temperature is trending by about 9 degrees Fahrenheit
12 over this very long period. And then, the hottest
13 temperatures are trending up by 7.5 degrees. But the
14 coldest temperatures are trending up the most, it's 12.6
15 degrees.

16 So, I'll just note, again this is for only one
17 GCM, one climate scenario. This is really just an
18 illustration of what you can get out of the data.
19 You'll see different numbers if you look at different
20 GCMs. But the general takeaway is that the climate
21 projections, they don't show a uniform impact across
22 locations or across different times of the year, if you
23 think of the different temperature levels as happening
24 at different times of the year.

25 And this is important because these asymmetries

1 in temperature changes amongst demand centers, that's
2 the information we need to better understand when and
3 where demand in the energy system in general might be
4 the most stressed in the future. So, we really need to
5 understand that and capture that in our analysis.

6 Next slide, please.

7 MR. WENDER: Can I ask, quickly, on this one?

8 MS. AYDIN: Yeah.

9 MR. WENDER: Do you have a sense of how much the
10 temperature range has changed based on the different GCM
11 inputs that's used? Is it like multiple degrees across
12 the different GCMs?

13 And then, I guess building on that, what are the
14 biggest contributors to variability or uncertainty in
15 these forecasts? How much comes from the GCM and the
16 inputs coming from the modeling side versus maybe
17 uncertainties in the downscaling methodology, and the
18 local climatic variables?

19 MS. AYDIN: Those are really great questions. I
20 would say there are -- there is a band of -- so, for
21 your first question. They can -- the different GCMs can
22 differ within a climate scenario. But the biggest
23 difference is if you look across climate scenarios.

24 If we go back a couple of slides to the IPCC
25 chart, we can kind of see it there. So, there are bands

1 around the different climate scenarios.

2 What I've been showing you is 7.0, which is the
3 second to top one. But you could take a more extreme
4 climate scenario or a more mild climate scenario, and so
5 that's where you get the biggest difference.

6 The IPCC 6 report is much better than its
7 predecessor at exploring uncertainty and describing it,
8 and explaining it in the projections. They call this
9 deep uncertainty, looking across climate scenarios. And
10 so, that's really going to be the biggest driver of the
11 differences you see. And it can be very difficult to
12 just pick which climate scenario you want to focus on.

13 I'm not sure, did I answer your question?

14 MR. WENDER: Yeah, very helpful.

15 MS. AYDIN: Okay. Okay, thank you.

16 MR. WENDER: Then I guess this is the last one,
17 and I don't know how much this is answerable or we can
18 take this offline. But the amount of variability based
19 on different downscaling methods, if you explored
20 different approaches to the downscaling and how much
21 that compares to maybe the scenario uncertainty going
22 in?

23 MS. AYDIN: I may not be the best person to
24 answer that, just because I haven't done the
25 downscaling. So, the Scripps Institution of

1 Oceanography, along with UCLA and UC Berkeley, they have
2 been doing that work, and those are their models.

3 So, I apologize, I don't think that I can answer
4 that question.

5 MR. WENDER: Totally fine, thanks.

6 MS. AYDIN: Thank you.

7 Okay, next slide, please. So, we then wanted to
8 look at the temperature increases through the lens of
9 the number of hot days people might experience now,
10 versus 30 years from now.

11 So, what we did is we looked at those four GCMS
12 that I mentioned, under the 7.0 SSP, and we constructed
13 120 weather variants for each year, 2023 and 2050. So,
14 120 variants for 2023 and 120 for 2050.

15 Onur will explain more about how we get those
16 variants.

17 But across those variants we counted the number
18 of days reaching at least 90 degrees Fahrenheit. And
19 so, we looked at those results for all the variants and
20 then found the average number of hot days you can expect
21 in 2023 versus 2050. And then, we took the difference
22 of that to see the change, and those are the numbers you
23 see here in the bubbles.

24 Again, we see a lot of variation depending on
25 location. Some stations don't see much of a change and

1 others see many additional hot days. So, I think it's
2 San Diego Weather Station for example, under this GCM
3 and climate scenario and with our weather variant
4 methodology, you see only one additional hot day at 90
5 degrees plus by 2050.

6 But if you look at Fresno, it's 17 additional
7 hot days 90 degrees plus.

8 In some locations the additional hot days are 90
9 to 100 degrees. Those are shown in orange. And in
10 other places the additional hot days are between 100,
11 110 degrees, or even more than 110 degree days.

12 So, Blythe for example, in the lower right
13 corner, they have -- we're estimating additional 13 hot
14 days by 2050, but 12 of those are above 110 degrees.

15 Next slide, please. And when we expand this
16 view, we look at -- and look at more weather stations,
17 and we look at both what would happen in that expected
18 year, 2023 versus 2050, and more of an extreme year for
19 each of those planning years. We also see increases in
20 the number of 90 degree plus days.

21 So here what we're showing in the bars, instead
22 of showing the 30-year change, we're showing the total
23 number of 90 plus degree days. The first bar is for
24 2023 and the second bar is for 2050.

25 So, if you look all the way to the left for

1 those first two bars for Fresno, for example, the first
2 bar says that in 2023 you can expect about 110 hot days,
3 but by 2050 it's closer to 130.

4 And the bars on the left charts, they show an
5 average or a 1-in-2 outcome for each year, and then on
6 the right a more extreme outcome. So, you can see how
7 across the board we see the number of hot days increase.

8 And we also see by looking at the absolute
9 numbers that some locations, they already have a higher
10 number of hot days to begin with. And so, the strain on
11 both demand and supply in those locations, that's going
12 to be quite high.

13 Next slide, please. And finally, here's a look
14 at heat waves in the new projections. This is a heat
15 plot of daily max temperatures 100 degrees Fahrenheit or
16 above.

17 I'll just stress that this is just a peak into
18 the climate projections. This is just showing one GCM
19 run under the SSP3-7.0 scenario, and now we're down to
20 just one weather station. That's for Sacramento.

21 So, looking at the top graphic, going left to
22 right you see, again, the years 1980 through 2100. And
23 going top to bottom are the months going from February
24 to November. And each cell is a day.

25 The bright purple cells show days that are 100

1 to 110 degrees Fahrenheit. And then, dark purple shows
2 the days that are 110 plus degrees. So, you can see
3 this trend of the number of hot days increasing.

4 The bottom stacked chart shows the same data,
5 but for each year it's showing the maximum number of
6 consecutive hot days at 100 degrees or more. And that
7 includes the longest stretch of 100 degrees as the dark
8 purple area.

9 So, we can see here that there's this pattern of
10 heat waves getting longer and more severe.

11 And I hope that was useful to you. And I'll
12 turn it over to Onur unless you have any questions.

13 MR. WENDER: I just -- to clarify, the bottom
14 plot is the same Sacramento Airport Weather Station?

15 MS. AYDIN: Correct.

16 MR. WENDER: Okay.

17 MS. AYDIN: That's correct.

18 MR. AYDIN: Hi, this is Onur, with Lumen Energy
19 Strategy. And, you know, very excited to be part of
20 today's discussions.

21 So, I would like to start with an overview of
22 what we're aiming to achieve and the underlying
23 motivations.

24 So, if you go to the next slide, please. The
25 beta data is an essential part of energy demand

1 forecasting. Yes, there's a very strong relationship
2 between the temperatures and the demand levels that are
3 driven by cooling and heating related energies.

4 And our goal is to develop a set of all these
5 weather variants that reflect the range of potential
6 weather outcomes that can happen in a given future year,
7 in a way that can be used in demand forecast.

8 And if you look at the recent heat waves in
9 California that happened, these events highlighted the
10 importance of extreme weather events and how they're
11 characterized in grid planning studies, where demand
12 forecast is a key input.

13 So, using long historical datasets as it has
14 been, it can increase the range for outcomes that are
15 considered, but the weather data from 20 or 30 years ago
16 are now less and less representative of what can happen
17 today or in the future.

18 So, this is something that's already recognized
19 in the previous IEPR cycles, you know, by both the CEC
20 staff and the stakeholders. And the interim solutions
21 that are considered were like shortening the historical
22 window, focusing on most recent historical observations,
23 or applying heavier weights to most recent years, but
24 keeping the full, broad historical dataset, a long
25 history.

1 So, these solutions, while they directionally
2 improve the forecast, there are some inherent
3 limitations which I'll discuss next.

4 So, if you could go to the next slide, please.
5 Extreme events. So, because the extreme events and the
6 extreme weather is becoming increasingly important to
7 grid planning, you need to consider a broad range of
8 possible weather years and improve how we represent the
9 -tail events you know, like they happen every 10 years
10 or 20 years, but still really important for grid
11 planning.

12 So, the charts here show the distribution of
13 daily maximum temperatures at CAISO based on a demand-
14 weighted composite temperature statistic during the
15 summer months over the past 30 years.

16 And the previous IEPR cycle for the normal uses
17 a 30-year window, which is why this one is on that
18 period.

19 So, on the left what you see is the ranges of
20 temperature outcomes in each year. The gray box, which
21 shows the middle, 90 percent of summer days, the 90th
22 percentile. And the top of the red bar shows the
23 hottest summer day of the year. And the bottom of the
24 blue bar shows the coldest summer day of that year.

25 So, if you look at this chart very closely, I

1 mean this highlights that extreme temperatures tend to
2 be much, much more variable and volatile, you know,
3 right, compared from year to year, compared to less
4 extreme temperature levels.

5 So, for example, looking at last year's summer,
6 the hottest temperature was nearly 10 degrees higher
7 than the year before. But the difference in average
8 summer temperatures was 102 degrees, so you can see that
9 as the dark gray circle on the chart.

10 And on the right you see the distribution of the
11 hottest summer temperatures over the same 30-year
12 period. And you can see that most of the historical
13 data is clustered around 100 degrees. Well, we've had
14 some extreme years with the temperatures that are
15 scattered 5 or 10 -- 5 to 10 degrees above that level.

16 And many of these extremes were seen in recent
17 years, in 2017, 2020, and most recently last year in
18 September 2022 we've had heat waves, and all of that
19 shows up on the tail end of this distribution.

20 And looking at the historical record alone, it's
21 not possible to tell if such events will be rare events,
22 as has been historically, or if they'll be come --
23 they'll be observed more frequently going forward.

24 So, this all points to a need for bringing in
25 projections, the climate projections.

1 But before I talk about that, I want to
2 emphasize the importance of historical data. It's
3 powerful. I really think it's powerful. It's a really
4 good anchor point. It's based on events that actually
5 happened and observed, which makes it almost
6 indisputable, except for measurement errors that needs
7 to be address. But at the end of the day it represents
8 just one realization of possible outcomes, no matter how
9 long of a history you look at. And with changing
10 climate, using historical data alone is not sufficient
11 to fully distinguish trends from variability, and then
12 multi-year cycles. All of that is blending and it's
13 really difficult.

14 And historical data certainly won't capture the
15 emerging novel weather pattern that can be expected as
16 climate changes.

17 Next slide, please. So, where does this lead
18 us? So, we urgently need to integrate the latest high
19 resolution climate projections into the demand
20 forecasting process that the projections that Mariko
21 described.

22 We've been cooperating with the CEC staff and
23 called up the teams to identify how to best do that
24 within the existing framework for this cycle, and also
25 in the future cycles.

1 And one of the challenges is that when we look
2 at climate projections over time we see a very high use
3 year variation due to just natural or certainty of
4 weather patterns. And, you know, of course this is
5 something that we also see historically. And Mariko
6 mentioned that, too. So, you know, for demand forecast,
7 okay, given future year, say 2030, you cannot simply
8 plug in the climate projections for that year. There
9 will be a large uncertainty band around what could
10 happen in that year.

11 So, we think it would be more prudent to draw
12 from a number of years before the forecast year and a
13 number of years after, as those years would reflect
14 different potential weather outcomes associated with
15 year-to-year variations.

16 We would also look at multiple climate models to
17 improve characterizations of a model uncertainty. And
18 just looking over a 30-year window is something that's
19 commonly used by climate scientists when exploring
20 projected changes of climate.

21 When we draw from these projections, we cannot
22 say a 30-year window. For the purpose of demand
23 forecasting, it would be important to ensure that the
24 data reflects the expectations of the forecast. And
25 this can be achieved by de-trending the data.

1 So here, the simple graphics illustrate the
2 concept. So, in the example on the left you see the raw
3 temperature data that's trending by about 2 degrees over
4 a 30-year period, from 96 degrees Fahrenheit to 98.
5 And, you know, plus-minus 15 years around the forecast
6 year, which is shown in the middle.

7 And what the trending does is it centers the
8 temperature level, the distribution at 97 degrees as the
9 level expected for the forecast year based on the
10 climate simulations.

11 And then, this raises the temperatures for the
12 weather variance prior to the forecast year and then
13 lowers them after the forecast year. So, they are now
14 more applicable to the forecast as variants for the
15 forecast year.

16 Next slide, please. So, in her presentation
17 Mariko highlighted that projected temperature trends are
18 not uniform by showing how they varied by location and
19 by temperature level. And so, it's important that this
20 is accounted for when we de-trend the temperature data
21 to create weather variance.

22 And this slide includes an example of how you
23 would do that. So, if you look at the graph on the left
24 it shows the annual temperature statistics like, you
25 know, a maximum, top and bottom, 5 percent on the median

1 temperature levels throughout the year. For one climate
2 simulation, as selected, weather station at Riverside.
3 And the data shows the years 1980 through the end of
4 21st century.

5 And on this chart the dashed line shows the
6 trend line over that period.

7 And we put a box here that would be used for
8 developing the ensemble of weather variance for the bas
9 year, which is 2023.

10 And the graph on the right shows the data after
11 they trend it. And after each temperature level they
12 trend it around the expectations of 2023 and the
13 corresponding frequency distribution of minimum,
14 maximum, median temperature levels.

15 So, this last chart uses the -- so, the first
16 two charts on the left, in the middle, shows an example
17 of one climate simulation. But the one on the right
18 draws from four climate simulations that are downscaled
19 at the hourly level that we're using.

20 So, the actual calculations would use more
21 granular temperature than shown here. But at the end,
22 the approach, you know, our approach based hourly, it
23 maintains the hourly chronological, which is really
24 important to preserve correlations over time,
25 correlations across different weather events,

1 correlations between temperatures and other weather
2 variables that are simulated into those climate
3 projections. So, keeping track of the hourly
4 chronological order is really important as inputs for
5 demand forecasting, hourly demand forecasting used.

6 And here, using a rolling window, even though
7 mechanically you can use the entire dataset, using a
8 rolling window of like 30 to 50 years, important because
9 it helps avoid carrying weather patterns from just the
10 future or past relative to the forecast year that may
11 not be applicable in terms of the shape of the weather
12 patterns for that forecast year.

13 I just want to move to the next slide, please.

14 Okay, so this slide shows very similar graphics to
15 demonstrate how we would implement the trending for
16 future years. So, the previous slide showed the de-
17 trending for base year, how that would work, and here we
18 just show how that can be implemented for forecast of
19 future year, using 2050 as an example.

20 So here, the established long-term trends would
21 stay the same as before, you know, showing the dashed
22 lines on the figure. But as the rolling window shuts
23 with the forecast year, the expectation for each
24 temperature level would move along that long-term trend
25 line.

1 In this example, all temperature levels rise
2 based on the upward trends in the projections, but the
3 amount is different for each temperature level that's
4 there. So, the maximum temperatures would rise at a
5 different pace than the minimum temperatures and so on.

6 And another thing that I want to highlight is,
7 and the next slide would show a little more details on
8 that, is that the variables around the expected
9 temperature loads also changes as new future years are
10 introduced and the past years relative to the forecast
11 year are gradually dropped.

12 And in this final slide, the next slide, please.
13 So, this final slide zooms into the results for that
14 same example at Riverside station. The result from the
15 previous slide then shows how the distribution of
16 potential outcomes can be affected by both the trends
17 and also changes of variability in projected
18 temperatures.

19 So, this means that the effects on normal
20 events, that can be expected ones every two years, could
21 be very different from the effects on more extreme
22 conditions. You know, an event that can be expected
23 once every 10 to 20 years.

24 And the graph here shows an example of how the
25 distribution of hottest and coldest temperatures of the

1 year are projected to change from current levels to
2 2050, based on the four climate models that we analyzed
3 so far.

4 But as Mariko said, the data is -- this is hot
5 off the press. And as more data is becoming available,
6 we plan to expand the climate models that are closer in
7 the analysis.

8 But looking at the hottest temperatures on the
9 left, you know, we see projected normal levels rising by
10 about 2 degrees. Right, they are shown as circles.

11 But the upward tail of the distribution
12 increases much more than that. And this is due to
13 increased variability seen in the simulations.

14 And then, if you look at the other end of the
15 spectrum, for the coldest temperatures, on the right we
16 see, also as Mariko mentioned, that we also see
17 projected normal levels rising according to the climate
18 projections we processed.

19 But the bottom of the tail of the distribution
20 declines. So, this suggests that the cold snaps can
21 actually get potentially colder, even though on average,
22 a typical year you might see cold becoming less cold.

23 But yeah, with that, you know, I just say that
24 concludes my presentation. We can take any comments or
25 questions.

1 VICE CHAIR GUNDA: Thank you so much for these
2 presentations. I had a chance to view the decks a
3 little bit. I have to say this is a little bit out of
4 my depth trying to understand and catch up on
5 internalizing some of this information.

6 So, I want to just bring this up to a little bit
7 of a higher level and think about how the changes that
8 are being made are going to help with some of the
9 problems we have been seeing, you know, the last several
10 years.

11 So, the problem statement from kind of my
12 vantage point has been we are using -- we have two types
13 of planning, right, so for the resources. Ultimately,
14 the entire demand forecast is a foundational step in
15 ensuring we have the right resources for a clean energy
16 transition, and then being able to have a reliable
17 system, and how are we capturing the temperature and
18 weather impacts into that planning effort.

19 So, when we are doing that resource planning, we
20 have slowly emerged into this dichotomy of there is a
21 planning standard, right, in resource planning, which is
22 I'm going to take all the weather, develop a demand
23 distribution. And then, the demand distribution is
24 matched with a supply distribution and I'm going to plan
25 for some sort of a standard. Which is I'm not going to

1 have more than one outage every ten years once I match
2 all of them together.

3 And the second element is we're saying
4 incremental to the planning standard, we may see some
5 tail events that is not going to be captured within the
6 standard planning and we need to have some emergency
7 resources ready to support reliability.

8 So, kind of setting that framework my question
9 on this one is, you know, how are we -- do we feel like
10 we have a good sense of the distribution of temperature,
11 which then drives the demand, to be able to capture a
12 resource planning better. Right, so that's the first
13 question.

14 The second kind of tangential question to that,
15 if we are going to move away from the appropriate way of
16 doing things which is, you know, stochastic analysis on
17 the distribution level, and trying to do point
18 estimates, you know, for resource planning, which is
19 kind of a proxy we do in RA and other planning, does the
20 work that we're doing right now -- how does that
21 support, right, the de-trending, you know, Onur, that
22 you mentioned, you know, how does that help give us the
23 cushion in this temperature variability as we move
24 forward.

25 So, I just want to set the stage there. I will

1 try to internalize, maybe have meetings with you all to
2 further understand the very, really gritty details, and
3 we can continue to talk through.

4 MR. AYDIN: Yeah, that's really -- you know,
5 both questions really are good questions. So, I think
6 Nick was also, in the next presentation, was planning to
7 touch on that.

8 But in terms of -- the current historical
9 approach, so a big step towards -- currently towards
10 seeing the -- for the planning distribution of extreme
11 events. Extreme in the sense that, you know, events
12 that you can expect one every 10 years or 20 years, is
13 captured as a part of demand normalization process which
14 currently uses the historical data.

15 But as we move towards using climate projections
16 and develop those climate -- you know, they call it
17 climate -- demand variance, and the weather variance,
18 and get a rich distribution of potential outcomes, we
19 expect that both the normal levels that the reliability
20 planning is set for, and also like more extreme events
21 will likely, likely go up. And using the climate
22 projections would give a better resolution of outcomes.

23 Even when you look at just kind of point
24 estimates at, you know, like there's the selected
25 stations that are used currently for developing system-

1 level level estimates.

2 But I think the next phase would be to really
3 bring a more detailed, geographically finer resolution
4 of the data that are like -- you know, a lot of those
5 climate projections that we are using as inputs are
6 developed by, you know, tacheometer by tacheometer. And
7 for the purpose of this cycle that is being just
8 translated to station levels because that is the current
9 approach, and for the sake of integrating with the
10 current approach, you know, just making the step
11 improvements. So, that's what we've been focusing on.

12 But the approach that we described is scalable.
13 So, you know, that the trending can also apply to the
14 granular tacheometer by tacheometer data.

15 What that would really require is at that fine
16 granularity to have a better understanding of the
17 temperature response, like of the demand at that
18 locational level.

19 It's something that's not done, yet, but used
20 with the more detailed data, the AMI data that's
21 becoming available, that's something that can be done in
22 future IEPR cycles and improve the resolution of the
23 demand forecast, and align it with the resolution of the
24 climate projections.

25 But I'll pause to see if Mariko has any

1 additions.

2 MS. AYDIN: Yeah, I can respond to a little bit
3 of that. First of all, it's a very insightful question.
4 I'm not sure if I have all the answers. But when I
5 think about the planning standard and loss of load
6 expectation that is more of like a stochastic view. But
7 it gets translated into a planning reserve margin, and
8 that's what we planned for.

9 I think what we're seeing in the planning
10 standard, just in the current context, is that there are
11 some blind spots there. So, I'm not sure if the full
12 future weather and climate variability is really getting
13 embedded into that loss of load expectation and then
14 carrying through to a planning reserve -- a planning
15 reserve margin.

16 So, that's a question and we're just trying to
17 address those gaps and see, given the planning reserve
18 margin that's in place, are there additional situations
19 or possibilities that we need to consider and maybe add
20 onto that.

21 The other kind of direction that we're trying to
22 go, and the reason that we show heat waves and extremes
23 is with so many -- well, with so many and growing
24 energy-limited resources on the grid, one thing that's
25 becoming more and more important is getting that time

1 profile of when the grid is really stressed. And so,
2 that's going to take a lot of work to really bring into
3 demand forecast and restructure the architecture of it
4 to be able to capture that. And that's sort of like one
5 thing we're keeping in mind as an end goal is can we
6 represent like a cohesive weather year, or
7 meteorological year, and plan for that and explore what
8 is sort of a normal year. I mean every year in
9 California has some kind of heat wave, right. So, are
10 we reflecting that in our normal year. Are we exploring
11 what's an extreme year in those terms.

12 And just being able to get to that level of
13 granularity, which these climate projections help us do,
14 is an opportunity for us to reduce those blind spots.

15 VICE CHAIR GUNDA: Yeah, thank you so much. Go
16 ahead, please.

17 MR. AYDIN: Oh, sorry, I just wanted to maybe
18 bring up like slide 3, just to kind of illustrate that,
19 you know, Mariko's comment about the blind spots.

20 VICE CHAIR GUNDA: As we're bringing that on, I
21 think, you know, Mariko to your point, I think there has
22 been this concern, right, in planning because we're not
23 doing a good job capturing the weather. But I think to
24 your point, part of it is trying to incorporate the
25 weather projections and climate projections into the

1 demand forecast. But just because we do that doesn't
2 mean that the rest of the processes are in place.

3 So, I think it's really helpful to think through
4 that holistic band because I feel like part of CEC's
5 responsibility is to be that forum for that discussion.
6 So, to the extent that we think through climate
7 projections, all the way to keeping the lights on, under
8 both standard, or in a normal weather year, however we
9 want to describe that, and an extreme weather event what
10 are the different places that these climate projections
11 have to be incorporated and reflected, right.

12 For example, if we do, to your point
13 stochastics, it absolutely has to be captured there, but
14 then it has to be captured in the PRM to be able to kind
15 of then, you know, adequately resource.

16 So, it would be really helpful to, within the
17 forecasting context this year, at least having this
18 light, right, kind of showing how we're doing these
19 elements of different spaces, but it needs to be more
20 broadly incorporated for us to get the benefits of those
21 climate projections in keeping the lights on.

22 MS. AYDIN: Yes, if I may respond to that. This
23 is the curse of being a forecaster. And I'm very sorry
24 to hear that perspective because I think that
25 California's state demand forecast is probably the most

1 sophisticated in the country. It's very detailed, very
2 thoughtful.

3 And I think, you know, no one can predict the
4 future. I'll just go back to that, nobody can predict
5 the future. The best we can do is use all the
6 information that we have in front of us and make the
7 best decision that we can make.

8 And I think these downscaled climate projections
9 are so great because they do give us more information
10 that we can incorporate and help us reduce those
11 planning blind spots. And, hopefully, maybe not get
12 that one point estimate of peak demand exactly right,
13 because no one can do that, but really be able to
14 explore the ranges of what's possible, and have this
15 discussion to figure out what to do next in planning.

16 VICE CHAIR GUNDA: Yeah, just I want to close
17 that off. From my perspective, I think to Nick and, you
18 know, Heidi, I think as a part of our IEPR forecast this
19 year having visibility on -- you know, piecemeal doing a
20 better job in climate projections doesn't, you know,
21 just result in a better portfolio downstream.

22 And being able to kind of just articulate all
23 the different place qualitatively that we need to be
24 able to do this to better plan for both extreme and
25 resource planning would be really helpful.

1 And I think given that we have a very, you know,
2 narrow mandatory statute affects developing the demand
3 forecast doesn't just end with that. But, you know, at
4 least suggestions and recommendations on how the
5 weather, the climate projections, and our demand
6 forecast should be incorporated into the broader setup.
7 So, thank you so much. That would be helpful.

8 MR. WENDER: I want to say this is amazing. Not
9 that there aren't many other places along the entire
10 planning decision making change where similar advances
11 need to be thought through, and that dialogue needs to
12 be fostered, but I think this is an incredible step
13 towards taking even more sophisticated approaches to
14 understanding our rapidly changing climate, and what
15 that means in terms of planning our energy system,
16 producing the resources that we need to maintain
17 reliability throughout this climate change.

18 So, you know, first and foremost tremendous
19 progress. Kudos to the whole team for folding these
20 advances into our thinking here.

21 Wild to see not just warming average
22 temperatures, but warming low temperatures, growing
23 extremes. I think that emphasis and really focusing on
24 those extremes is critical and great to see that here
25 because that drives so much of the grid and the ultimate

1 impacts to our communities here in the state, who deal
2 with these, you know, 10, 20 consecutive days above
3 certain temperature bands.

4 I was going to ask, we focused a lot on
5 temperature today, but curious if you have thoughts or
6 other insights into other, you know, variables,
7 parameters that you think we have some of the modeling
8 capabilities to think about. So, precipitation is a big
9 one and understanding, starting to again kind of explore
10 what these changing climate trends might mean for
11 precipitation, and hydro resources.

12 And then, the other one is kind of thinking both
13 this very hyper localized forecast, tremendously
14 valuable, but also thinking about trends on wider scale
15 impacts. So, as heat events cover larger and larger
16 areas of the Western U.S., or the entire U.S., thinking
17 about what that might mean in terms of import
18 availability and tightness of imports, and how we can
19 think through those other dimensions of a changing
20 climate in terms of our forecasting, and then eventual
21 later steps in the planning and procurement processes.

22 MR. AYDIN: Yeah, I mean we are quite definitely
23 looking -- so, yeah, I mean today our focus has been on
24 temperatures as the most impactful metric. But we
25 definitely are like, just coincidentally looking at

1 other weather variables, including like the humidity on
2 temperatures is one thing that we want to really better
3 understand, too. Because the temperature alone may not
4 explain the demand behavior as well as, you know, just
5 looking at the effects of humidity.

6 And there are other researchers works that we're
7 coordinating with, who are looking at these kind of
8 projections in the lens of impacts on supply
9 availability. Including effects on the hydro
10 availability with the prolonged droughts, and how that
11 would -- you know, just kind of link it to the climate
12 projects. As well as the availability of wind and solar
13 resources. Because, you know, you can think of a
14 situation where, you know, the demand in general the
15 load centers are seeing, you know, extreme heat events.
16 But, you know, coincidentally like, you know, the solar
17 resources are at areas with some kind of cloud cover,
18 and the simultaneous increase of demand, compounded with
19 reduced, you know, renewable resources would really
20 create some challenges that may not have been seen
21 before. And that's definitely something that we are
22 thinking.

23 And as the data becomes available, you know, not
24 just in a California focus, but also for the entire
25 Western Interconnect, there's some climate projections.

1 It's something that we want to really, really consider
2 in terms of, like what you said, about the availability
3 of imports. Because if multiple areas see the same kind
4 of constraint at the same time, that's a very different
5 type of event than just California's seeing by having
6 that cushion from the import available.

7 So, those are definitely really the points,
8 that's something that's in our radar. As we have more
9 information available in the future workshops, hopefully
10 we'll have more to share.

11 VICE CHAIR GUNDA: Thank you. I think we can
12 move to the next one, but I will definitely follow up
13 with both of you on further understanding the details of
14 this, the implications of this.

15 Unfortunately, I have to step out for the rest
16 of the morning session. I'll hand it over to Ben for
17 the rest of the proceedings. I know I just -- for those
18 of you who do not see Nick and his gestures here, he
19 seems incredibly frustrated. No, Nick, I apologize. I
20 will follow up with you on the HLM. And maybe we can
21 repeat, do a repeat in the afternoon, a quick repeat.
22 Yes.

23 MR. FUGATE: Sure, no problem.

24 VICE CHAIR GUNDA: And ask all the questions I
25 missed to listen and the details on it. Thank you.

1 Thank you so much for the understanding.

2 MS. JAVANBAKHT: All right, and with that I will
3 hand it over to Nick Fugate, our Chief Forecaster, for
4 the last presentation this morning.

5 MR. FUGATE: So, I was going to start off by
6 saying good morning, Commissioners, but I'll instead say
7 goodbye to the Vice Chair.

8 (Laughter)

9 MR. FUGATE: So, I'm Nick Fugate with the Energy
10 Commission's Demand Forecast Unit. And I'm here today
11 to discuss our hourly modeling process and some of the
12 updates we have planned for this cycle.

13 I will say, preemptively, that the focus of my
14 presentation is going to be mostly on our existing
15 process and sort of the impacts that this climate, and
16 some new data we have on self-generation as well, are
17 going to impact the forecast in the near term. But
18 certainly appreciate all of the discussion around how
19 our forecast can support stochastic analysis. That is
20 certainly on our mind and I will touch a little bit on
21 that in the presentation as well.

22 Next slide, please. So, for context, our hourly
23 load model is a top down system model that considers how
24 the electricity system load profile may evolve over the
25 forecast period as we add more behind-the-meter PV,

1 electric vehicles, heat pumps, battery storage, those
2 things that can impact the timing of system peaks, the
3 timing and magnitude of the system ramping periods, and
4 just the overall -- the shape of the system, hourly
5 system loads.

6 And so, our forecast is an important input into
7 system and reliability studies. For the IOU TAC areas
8 within CAISO, specifically we take our annual peak
9 forecast from the hourly model. This is used in the
10 CPUC's IRP process and CAISO transmission studies.

11 Similarly, we take our monthly peak forecast
12 from the hourly model results and these are used as
13 benchmarks for system RA. And the hourly loads are used
14 directly to inform Flex RA studies, which assess
15 resources needed to meet maximum 3-hour system ramps.

16 This is probably the highest level overview I
17 could give of this process. Really, I just wanted to
18 remind everyone that these three pieces of our forecast,
19 which I'll be talking about today, what they are and how
20 they're related.

21 So, every year we perform a peak normalization
22 analysis, where we look at the relationship between load
23 and temperature, and we estimate what peak load would be
24 under normal conditions.

25 Our hourly demand forecast is intended to

1 represent load in a particular hour under normal
2 conditions for that hour. And we want that normal peak
3 estimate to be the starting point for our forecast. And
4 so, we use it to calibrate our hourly system load
5 profile in the base year. And as I mentioned on the
6 last slide, we then take the annual peaks from the
7 hourly model results and those become our one and two --
8 one- and two-year peak forecast.

9 There are a number of electricity system
10 studies, however, that look at energy or transmission
11 needs under more extreme conditions, say a one-year-in-
12 five or a one-year-in-ten event. What we have
13 traditionally done to support those studies is apply a
14 scale factor to our 1-in-2 peak forecast. That scale
15 factor falls out of the normalization process. In that
16 top box I say we estimate what peak load would be under
17 normal conditions, but we also develop similar estimates
18 for, say, a one-year-in-five or a one-year-in-ten
19 conditions and we compare those to normal conditions.

20 Next slide. So, I want to talk a little bit
21 about that normalization process and some of the updates
22 we have in mind for this cycle.

23 Next slide. The way that we approach this has
24 traditionally relied solely on historic load and weather
25 data. The chart here illustrates that in the higher

1 upper temperature ranges there's a pretty linear
2 relationship between daily peak load and temperature.

3 We take daily peak loads and weather data for
4 the three most recent summers and use that to estimate a
5 linear model. We then use that model to simulate many
6 different summers, using different weather patterns.
7 And then, we examine the peak loads from those
8 simulations and look at the distribution to determine
9 what a one-year-in-two, or a 1-in-5, or really a 1-in-X
10 peak load event would be.

11 Next slide. So, the weather patterns that we
12 have used for this simulation have been, in past cycles,
13 taken from the historical record exclusively,
14 specifically the last 30 years of weather data, which is
15 generally considered long enough of a window to capture
16 warming and cooling cycles that take place over decades.

17 In the context of a warming climate, though, and
18 we touched on this in Lumen's presentation, this 30-year
19 window presents some problems. Intuitively, hopefully
20 it makes sense that as you're taking periodic snapshots
21 over time of a system that is evolving and becoming
22 characteristically different, the you wouldn't want to
23 look too closely at those early to see what the system
24 looks like today. You'd want to look at more recent
25 ones.

1 And so, that's what we had in mind as we
2 modified this process two cycles ago. The chart here
3 illustrates with a couple of density plots the
4 distribution of maximum weighted temperatures for one of
5 our planning areas. I could have picked any of them,
6 the plot would be similar.

7 And you can see the distribution across the last
8 20 years has a higher median and heavier tail than if
9 you look at the last 30 years.

10 We only had the historical record to work with.
11 Truncating the window doesn't completely address the
12 problem. It also poses some additional issues. We need
13 to have enough variability in the record to establish
14 with confidence what a 1-in-20 event is. And if you
15 only have 20 weather patterns to consider, then one or
16 two of those patterns can easily skew your expectations.

17 All of that is to say that we are really excited
18 about the data and tools that Mariko and Onur discussed
19 in their presentations.

20 The Cal-Adapt analytics engine, the downscale
21 climate model runs and the, you know, they're relevant
22 to this weather normalization analysis. The prospect of
23 having a rich, de-trended set of hourly temperature
24 simulations to support our historical record, you know,
25 is very promising as a pathway to improve this process.

1 MR. WENDER: Nick, can I ask one question?

2 MR. FUGATE: Yes.

3 MR. WENDER: So, you certainly see the
4 progressing trend in peak -- high temperatures and peak
5 demand associated with those. In the hourly breakdown
6 do you also see increasing demand at off peak times or
7 increasing kind of like base demand associated with
8 higher low temperatures. I guess both the highs and the
9 lows are increasing. And I guess I'm wondering the
10 extent to which the steady increasing low temperatures
11 are. Sorry, this is a mouthful.

12 MR. FUGATE: Yeah. Yeah, so --

13 MR. WENDER: I'll make it fast, in the hourly
14 forecast.

15 MR. FUGATE: Yes. So, it sort of depends which
16 hours or time of year you're looking at, right. Minimum
17 temperatures actually do factor into our summer peak
18 analysis. That is one of the explanatory variables, the
19 most recent minimum daily temperature. And it does have
20 an impact on the load response. So, yes, increasing,
21 just specific to this, you know, peak normalization
22 process, increasing minimum temperatures would have
23 implications for that.

24 But also, if you're looking at just the -- at
25 our hourly process in general or our methods for

1 estimating climate impacts, we do sort of estimate, you
2 know, load response to things like heating and cooling
3 degree days. So, you know, as minimum temperatures
4 increase that is going to have an impact on those
5 metrics, the heating degree days in particular.

6 And so, you could see a load response sort of on
7 the year as a whole where, you know, you have less
8 heating demand in the winter. And so, that's sort of
9 working in the other direction.

10 But, yeah, certainly minimum temperatures have
11 an impact on load.

12 So, finishing up on this slide. As Onur
13 described earlier, our intention this cycle is to
14 introduce this climate simulation data into our
15 normalization process. We can look at, for example, a
16 30-year window centered around the base year, so 15
17 years in either direction. And examine what peak loads
18 would be under those conditions.

19 And because we have downscaled results from four
20 different global climate models, that same 30-year
21 window would actually provide, you know, 120 weather
22 patterns. So, enough variation to examine extreme
23 conditions.

24 And actually, this process can be repeated with
25 de-trended data centered around future years, as well,

1 which could provide insight into how 1-in-X peak factors
2 might evolve over the forecast period.

3 We're currently working with Lumen's and test
4 this approach, but this is a promising solution to this
5 particular problem that we've been struggling with for a
6 few cycles now.

7 Next slide, please. So, moving on to the actual
8 hourly modeling.

9 Next slide. To develop our hourly forecast we
10 have to apply load shapes to our annual energy
11 forecasts. Just broadly speaking that is the approach.
12 When we employ our hourly load model, which is what we
13 have used for several cycles now, we start with a
14 baseline profile for total end-user consumption, which
15 represents what we think consumption patterns look like
16 today.

17 We then take our annual consumption forecast, we
18 back out all of the incremental components that would
19 modify the shape of that baseline profile, things like
20 electric vehicles, heat pumps, building electrification
21 measures. We apply our baseline consumption profile to
22 this modified annual consumption forecast to get a
23 baseline hourly consumption forecast.

24 And then, we have to add back in all of those
25 modifiers, those load modifiers. Each one has its own

1 characteristic load profile. And that gives us a
2 modified hourly consumption profile.

3 And then, we add the impact of behind-the-meter
4 generation, which also has its own characteristic
5 profile, and that gives us our hourly system load
6 projections.

7 And as I mentioned earlier, that system load is
8 benchmarked to our weather normal peak estimate in the
9 base year.

10 Next slide. Some more review here. I've
11 presented on the hourly model or what we call the HLM,
12 I've presented on it every year for the last several
13 years, so I'm skipping a lot of the detail here. But
14 you can look at those presentations, if you're
15 interested. They're docketed and posted to the IEPR
16 website.

17 The HLM is the tool that we use to develop that
18 baseline consumption profile, the one I described on my
19 last slide. It's a set of regression models, one for
20 each hour of the day that predict load as a function of
21 weather and calendar effects.

22 We use five years of historical data to estimate
23 the models. We then use those models to simulate 87
24 models for each of over 20 weather patterns. We then
25 rank order the loads in each profile, creating a

1 collection of simulated load-duration curves.

2 And we look at the first rank in each of those
3 load-duration curves. We select the median value. We
4 do that again for the second rank, and the third, and so
5 on. And at the end of that process we have a load-
6 duration curve that you could consider approximately
7 normal. And we assign those values to particular hours
8 of the year.

9 Now, there are some parallels here with the
10 weather normalization process, the weather patterns that
11 we have traditionally used. These were historical
12 patterns, so there is the same question around how well
13 those early years represent expectations around current
14 weather patterns.

15 And there is the issue of having only about 20
16 years of data. This may not be as big a problem when
17 you consider how we've used HLM up to this point. So,
18 right, we've only been selecting median values, 20 years
19 may be about as good as 30 for selecting the median.

20 But as the scope of our hourly modeling evolves
21 to support more stochastic assessments of system
22 reliability, 20 simulations starts to suffer from the
23 same problem where, you know, two years can have an
24 outside influence on extremes, or maybe we're not even
25 capturing, you know, sufficient data points to really

1 think about those extremes.

2 So, there is, this is another area where we are
3 excited to begin ingesting climate simulation data. The
4 climate data covers all of the correlated weather
5 variables that we would need for this model. Again, a
6 30-year window of simulated weather actually delivers
7 120 unique patterns. So, there's a clear path here for
8 using this in our current process, but it's also
9 exciting because it presents an opportunity to rethink
10 our modeling framework more generally.

11 And, you know, I don't want to get too far ahead
12 of the actual work we had planned because there's still
13 a lot of open questions, and this is something we will
14 want to start engaging, you know, with stakeholders and
15 start discussing some of our ideas.

16 But, you now, instead of using all of the HLM
17 load simulations to distill a single, normal consumption
18 profile all of that detail and variability could be
19 retained. And you'd have this rich data set of load
20 profiles from which you could select what looks like a
21 normal year, you know, or a 1-in-10 year. You know, you
22 wouldn't just have to have point values, you'd have the
23 entire profile. And so, you'd have a lot of flexibility
24 even in how you would define the contingencies you'd
25 want to examine.

1 You know, maybe you're interested in years with
2 extremely long heat waves or, you know, a year that has
3 an unusually hot October, things of that nature.

4 So, it's an ambitious undertaking and one we're
5 working on in parallel to what we have planned for this
6 IEPR forecast specifically, which is to pull this new
7 climate data into our current process. But that's just
8 a first step and, you know, this climate data opens a
9 lot of doors.

10 Okay, so if you'll allow me just one more
11 context slide. When I talked about estimating the HLM,
12 I said it predicts consumption based on weather and
13 calendar effects. But I have to put "consumption" in
14 quotes because it's not actually consumption. We don't
15 know what consumption is. We can't measure that.

16 We can measure system load and we can estimate
17 self-generation, specifically behind-the-meter PV
18 generation, and we can add those two together to get a
19 counterfactual historical load series. So, that's what
20 we're actually modeling.

21 When we originally started doing this, we
22 estimate the historical PV component by applying an
23 average generation profile, literally an average across
24 days of the week and across years, taken from a
25 relatively small metered system study.

1 This worked well enough when there wasn't a lot
2 of PV on the system. But as we have added more
3 capacity, the differences between actual generation and
4 this average value start to become pretty apparent.

5 Next slide. So, to explore just how large the
6 discrepancy was, we modeled PV production in SDG&E's
7 territory, using NREL's system adviser tool for
8 specifically historical days. And then, we compared
9 that to the average profiles we've been -- we had been
10 using.

11 On the NREL tool models, PV generation for
12 specific system designs using actual historical solar
13 radiation data, these plots show PV gen for every day in
14 January, but across two different years, 2016 and 2019.

15 The red line is the average profile we had been
16 using. It's the same in both plots.

17 The blue line is what we modeled for those
18 specific days using the NREL tool.

19 And it's clear from this that the average
20 profile under-predicts generation on clear days and
21 significantly over-predicts generation on cloudy days.

22 So, there are two problems with using average
23 profiles in our hourly forecast. One is that using
24 these profiles to reconstitute hourly consumption,
25 right, which we're using to estimate our model, would

1 lead to several irregular consumption patterns,
2 especially in the winter and the shoulder months where
3 you tend to see more cloud cover.

4 The other issue with using the profiles as a
5 modifier in the forecast years is that there will be
6 months when you should typically expect to see some
7 significant cloud cover on some days.

8 And so, the corresponding drop off in behind-
9 the-meter solar could drive the timing and the magnitude
10 of the peak in that month. So, these issues motivated
11 us to pursue procurement of actual metered system data.

12 Next slide. And we have done just that. We
13 have entered into an agreement with a vendor to supply
14 15-minute inverter readings twice a year. Once at the
15 start of each year, which we'll use to reconstitute the
16 previous year's consumption, and then once at the end of
17 each summer in case it's necessary to examine PV
18 performance contribution to the summer peak.

19 Another benefit of this procurement is that it
20 covers all forecast zones. And so, we have data now to
21 reconstitute hourly for all our planning areas, and so
22 we can expand the HLM to cover non-CAISA balancing
23 areas.

24 Relative to the forecast generation profiles,
25 this is in a situation where we would want to just drop

1 this new data into our existing process and develop new
2 average profiles.

3 We're testing other options that would introduce
4 more of realistic variability into the profile. That's
5 still a bit of an open question. But any new profiles
6 we develop will draw heavily from this inverter data.

7 Next slide.

8 MR. WENDER: Can I just ask quickly on that one?

9 MR. FUGATE: Sure.

10 MR. WENDER: I would love to see for any given
11 location, kind of the graph of what the actual measured
12 new dataset you've gotten compared to SAM, or the
13 assumed model, just to get a sense of -- or, the average
14 model you used to use to get a sense of how much they
15 really vary across those three.

16 MR. FUGATE: Yes, I'm excited to look at those,
17 too. This is similar to the climate data, you know,
18 this is sort of hot off of the presses for us, I think
19 is the term the owner used.

20 So, yeah, you know, it's coming kind of late in
21 our process but this is, you know, important enough we
22 really want to try to leverage it this year. And so, we
23 are putting together those comparisons now, and are
24 excited for future meetings we'll be able to show some
25 of those comparisons.

1 So, the updates I've covered so far are sort of
2 the ones that are out of the ordinary, but there are
3 also more routine updates we'll be making to the hourly
4 forecast. We'll be reestimating that base consumption
5 profile that I described earlier.

6 And in doing that, we are paying particular
7 attention to factors which appear to be contributing to
8 the steep system ramps that have been present in our
9 last two IEPR forecasts, and in particular that have
10 been surfacing in the context of CAISO's Flex RA
11 studies.

12 We will reestimate our climate impacts using new
13 projections for heating degree and cooling degree days.
14 I suppose this one isn't quite so routine since these
15 projections will be derived from the new climate
16 dataset.

17 We'll be reestimating PV impacts, not just with
18 the set of revised profiles, but also with the new PV
19 adoption forecast and the updated history of cumulative
20 installed capacity, which Alex described earlier.

21 And, of course, we'll be incorporating updated
22 additional achievable scenarios being developed by our
23 Advanced Electrification Analysis Branch, so I imagine
24 you'll hear more about that in the afternoon sessions.

25 Next slide, please. So, I wanted to wrap up

1 with a few points on work we have in mind for future
2 cycles.

3 Next slide. At our -- I put this one in here
4 specifically for Vice Chair Gunda. At our Tuesday
5 workshop in inputs and assumptions, Vice Chair Gunda
6 noted the importance of ensuring that the CEC's forecast
7 accurately reflect current and future potential for
8 behind-the-meter storage to contribute toward strategic
9 load management.

10 So, staff agree with that. This isn't a
11 component of our forecast that has received a lot of
12 attention in the last two cycles.

13 Here I'm showing our non-res storage charge and
14 discharge pattern for a peak day. This was informed in
15 part by an SGIP impact evaluation study. There seem to
16 be clear indications that multiple strategies are at
17 play here, discharging at night, discharging in the
18 morning, I would presume from solar.

19 Our storage projects to date have focused on
20 total installed capacity, but it will be important
21 moving forward to improve our understanding of what the
22 operational strategies are that are being used, what new
23 strategies may emerge, and then also what portion of our
24 capacity forecast should be bucketed into each of these
25 different categories.

1 Next slide, please. We also want to look at
2 opportunities to improve the performance of our hourly
3 load model. I mentioned earlier, in another slide, that
4 we would like to use this model to support more
5 stochastic analysis. And with that in mind, we will be
6 looking for opportunities again to improve the model,
7 particularly at higher temperature ranges.

8 The model was developed, as I described, to
9 produce a normal profile. And then, we calibrate that
10 load profile to peak -- the results of our peak
11 analysis.

12 We'd like to reach greater alignment between
13 those, you know, peaks derived from the raw model output
14 and the peak normalization analysis so that the
15 calibration step is sort of a minimal impact on the
16 resulting profile.

17 We'll be testing other explanatory variables
18 that may have a greater correlation to end-use behavior,
19 heat index for example. Which, you know, relative to
20 temperature gives a better indication of how hot it
21 actually feels to people.

22 We're looking at the level of temporal
23 granularity in the model. And what I mean by this is
24 it's a little in the weeds, but right now, although we
25 estimate the model for each individual hour of the day

1 -- estimate a model for each individual hour of the day,
2 we have a single model specification for broad clusters
3 of hours.

4 So, at least for the most temperature sensitive
5 hours, it might make sense to have individual
6 specifications for each hour.

7 And we're also exploring adding a PV efficiency
8 reduction factor to account for the drop off in system
9 output that many systems see at high temperatures.

10 Next slide. So, we saw last cycle that the
11 level of additional achievable fuel substitution
12 considered in the local reliability scenario adding a
13 substantial amount of load to winter months. So much so
14 that the winter CAISO peak in 2035 reaches 50,000
15 megawatts, which is on par with a really hot summer peak
16 right now.

17 One of the problems with adding so much
18 incremental fuel substitution into the model is, you
19 know, this model is estimated on recent historical loads
20 and temperatures. So, you know, it does not exhibit a
21 lot of temperature sensitivity in the winter months.
22 So, if we're wanting to look at variation in hourly
23 profiles in, say, 2035 or beyond, you know, we can still
24 layer in these AAFS impacts but they will -- you know,
25 the way it's structured right now, they will just sit

1 there as a static profile. So, we're currently thinking
2 about ways to approach adding some temperature
3 sensitivity there.

4 Next slide. And so, I'll end with a thank you
5 to everyone who called in online, and also everyone in
6 the room. Especially all of our utility forecaster
7 colleagues who made the trip to be here in person. It's
8 great to see everyone.

9 I also want to give a big thanks to the strong
10 support we've received on climate this cycle from our
11 Research Division here at the CEC.

12 Also to our consultant, Mike Nostrangia
13 (phonetic), Eagle Rock Analytics, and the whole Cal-
14 Adapt analytics engine team. And to Lumen, we've have
15 had a lot of help this cycle, not just with this new
16 data and tools, but also thinking through the best ways
17 to incorporate climate data into different elements of
18 our forecast.

19 So, there's going to be a lot of iteration on
20 this over the next few cycles. More to come. But the
21 support in kinds we've received so far this cycle has
22 been really valuable and I'm quite grateful. Thank you.

23 MR. WENDER: Thanks so much, Nick. And echo the
24 thanks for everybody making it up today, as well as the
25 collaborators with Lumen with the Research and

1 Development Division. Clearly a lot of folks behind
2 this great work.

3 I guess my one general question is really around
4 kind of the timeline and thinking about when some of
5 these more stochastic approaches might become integrated
6 into the forecast discussions that you're having with
7 the other energy entities around later steps, and use of
8 these forecasts, and what they need to see to embrace,
9 and feel good, and use these stochastic approaches. And
10 the willingness to take this exploratory approach and
11 picking different example years of different climatic
12 conditions to explore and then translating that to what
13 that might mean in terms of planning process, investment
14 decisions.

15 And so, maybe just a quick look ahead of those
16 conversations and timelines that you're anticipating.

17 MR. FUGATE: Sure. So, in terms of timeline it
18 is we're not expecting to have sort of a framework for
19 the stochastic analysis built in time for the adoption
20 of this forecast. But following the adoption of this
21 forecast we are sort of going to be pivoting to that as
22 kind of a next piece of priority work for us.

23 We have already been discussing, we've been in
24 discussions with, as you said, the other energy
25 agencies, had a handful of preliminary discussions with

1 some utility forecasters and looking forward to more of
2 those.

3 In terms of the discussions so far have sort of
4 been around, well, what is everyone doing in this space,
5 because everyone has a current approach to it. And so,
6 it's been a lot of comparing notes to this point.

7 The climate piece that we discussed, we heard
8 from Lumen today, is relatively new. We have had some
9 sort of focused discussions on that in particular with,
10 you know, CAISO and CPUC through our JASC forum. Really
11 focused on kind of what this climate data is, why we
12 feel, you know, this is really sort of the best approach
13 to accounting for climate in this style of developing a
14 stochastic (inaudible) profiles in the long-term
15 forecast period.

16 So, we're sort of socializing this new kind of a
17 data and thinking through the best approach to actually
18 developing these stochastic datasets.

19 MR. WENDER: Actually much sooner than I
20 anticipated. You guys are much further along than I
21 realized.

22 MR. FUGATE: Well, so, yeah, I mean this is --
23 this is definitely a high priority work. I don't want
24 to set expectations too high because it is hugely
25 ambitious. And so, I think that, you know, our forecast

1 period just in general is so -- our forecast window, you
2 know, an annual cycle is just a really short period of
3 time to both, you know, think through changes, implement
4 changes, produce a forecast and, you know, bringing in
5 all the stakeholder input that's necessary to do that in
6 a transparent way.

7 So, I think that it's going to be iterative.
8 We're having discussions. We want to get to a kind of a
9 minimum viable product in the near future and start
10 getting people comfortable with that, and then we will
11 iterate and make improvements each cycle.

12 MR. WENDER: Great. The other thought I had,
13 and I'm sure you folks have thought through this more
14 than I have at this time, but it makes a lot of sense to
15 think about efficiency adjustments for PV generation as
16 a function of temperature. There's thinking about other
17 large end loads or -- I guess I'm thinking loads right
18 now, particularly in the EV space that may have changes
19 in terms of, you know, range or charging demands with
20 temperature.

21 MR. FUGATE: I will be frank, I have not
22 considered that, so I would sort of defer to others who,
23 you know, are potentially thinking that, you know, EV
24 load charging patterns might be correlated with
25 temperature or, you know, who have been studying that.

1 Certainly welcome that input.

2 I think we are kind of focused on what feels to
3 us to be the lowest hanging fruit, right, that clearly
4 temperature sensitive loads, right, the efficiency and
5 fuel substitution. Additional achievement efficiency
6 and fuel substitution, there's clearly a large kind of
7 temperature driven component to those profiles. So,
8 that's kind of what we have first in mind.

9 But definitely would consider any additional
10 insight others have to offer on PV loads.

11 MR. WENDER: Very good. I think we're close
12 enough now we turn it over to public Q&A, from anybody
13 in the room. Or, maybe I'll turn it over to Stephanie
14 to help facilitate that.

15 MS. JAVANBAKHT: I'm facilitating this session.

16 MR. WENDER: Oh, thank you, Heidi. I'll turn it
17 over to Heidi.

18 MS. JAVANBAKHT: And Ben, just going back to
19 your EV question, I think that's something that Quentin
20 has been thinking about, if you want to pose that
21 question again this afternoon to him.

22 Hopefully, I'm not putting him on the spot.

23 Okay, so we're moving to Q&A. We are only going
24 to take questions through the Q&A box. For those of you
25 attending online, if you have a question, please type it

1 into the Q&A box. If you have a question for our
2 presenters from this morning that's relevant to their
3 presentations.

4 And we will start with questions in the room.
5 Are there any question in the room? If so, please come
6 up to the podium. Okay, we have one question.

7 MR. LAMICHHANE: Thank you everyone. I'm
8 Santosh Lamichhane from PG&E. I'm the forecaster at
9 PG&E. I have a few questions related to the climate
10 presentations from Lumen. Pretty easy questions, I
11 think, mostly related to the Cal-Adapt data.

12 You showed a slide with a temperature change for
13 an individual weather station on slide 6, the first
14 presentation. Is there a reason why you chose CESM2
15 scenario over the other, like there were four, I think,
16 in the Cal-Adapt?

17 And I was wondering if it has some significance
18 in terms of that's the median outcome or something, like
19 I know it's an average, but I would like some
20 clarification, if we can, on that one.

21 Also, if there's any reference to the
22 methodology used for downscaling from the global climate
23 models, that would be helpful.

24 And also, when you saw the de-trending for the
25 Riverside station on the second presentation, slide 5

1 and 6, is that using all four scenarios?

2 Other than that, all the research you've done is
3 very helpful for us, for utilities to, you know, get
4 insights into the climate and how it's going to affect.
5 Thank you.

6 MS. JAVANBAKHT: Oh, and sorry, one more thing
7 before you go. Can you please spell your name for the
8 --

9 MR. LAMICHHANE: S-A N-T-O-S-H L-A-M-I-C-H-H-A-
10 N-E.

11 MS. JAVANBAKHT: Thank you.

12 MR. LAMICHHANE: Thank you.

13 MS. JAVANBAKHT: Onur, go.

14 MR. AYDIN: Yeah, thanks for the question. So,
15 Mariko, I think the first question was for your slide.
16 Do you want me to take that or I'll let you.

17 MS. AYDIN: Yes, I'll start and then pass it on
18 to you, Onur.

19 Thank you for that question. For your Cal-Adapt
20 question, you referred to the slides on individual
21 weather stations and asked why did we pick the CESM2
22 scenario. I'm glad you caught that.

23 So, what we've been focusing on so far are the
24 four downscaled GCMs produced by the WARF models. And
25 why did we pick CESM2, I'll ask Onur. It is just

1 illustrative, but when we do our de-trending we'll look
2 at all four. I'll pass it to Onur to answer the CESM2
3 question.

4 But in terms of the downscaling from the global
5 climate models, I do need to punt that over to the
6 research teams who are doing that, just because I want
7 to make sure that you get the most correct answer on
8 that.

9 So, what I can do is offline point you to some
10 of the -- they're the CDAWG meetings, which I'm sure
11 you're well aware of, and other materials that will
12 explain that much better than I could ever explain it.

13 And then I'll pass the rest to Onur. Thank you
14 for the questions, though.

15 MR. AYDIN: Yeah, I want to second Mariko, like
16 really good questions. So, I mean just in terms of the
17 CESM2 scenario that was just for illustration I think we
18 have it.

19 So, we want to work with the full set of hourly
20 downscaled simulations, and so far we only have four of
21 them. That's why we've been focusing on the four. In
22 terms of picking that one it was, you know, just for
23 illustration.

24 But in the slides 5 and 6 that you referred in
25 my presentation, the final distribution on the very

1 right uses all four of them, although the examples on
2 the left and in the middle charts, they are showing that
3 one simulation.

4 And all of those simulations are, as Mariko
5 said, downscaled based on the work simulations using
6 downscaling. And the reason we wanted to work with that
7 is those are the simulation -- those are the only
8 simulations we have, the latest, with the hourly
9 granularity of the weather variables that are of
10 interest to the study.

11 There are other, statistical downscale, there
12 are hybrid downscale methods that are used and more
13 results are coming. We haven't investigated those, but
14 the data are the level so, you know, we're kind of
15 trying to figure out if and how it can be incorporated
16 to an hourly analysis, which is really --

17 MS. AYDIN: And I'll just add one thing for
18 reference. If you remember, I had a slide with the bars
19 on the number of hot days, and I mentioned that for each
20 year, 2023 and 2050 we had constructed 120 weather
21 variants. So, the 120 weather variants are the four
22 GCMs, and then we use a 30-year window for each of
23 those, and we de-trend those. That's how we get the 120
24 weather variants.

25 MS. JAVANBAKHT: Are there any other questions

1 from folks in the room?

2 MR. PUSCH: Hi, my name is Alex Pusch. I'm here
3 with Southern California Edison. My first name is A-L-
4 E-X, last name P-U-S-C-H.

5 So, first question is around the selection of
6 the four GCMs. I was just kind of curious how you guys
7 are thinking about potential for model bias, kind of
8 given that limited ensemble size, and whether or not
9 you're going to benchmark that against the rest of the
10 downscaled models?

11 And then my section question is for future
12 projections why are you not considering global warming
13 levels or have you considered global warming levels-
14 based approaches? That's kind of (indiscernible) --

15 MR. AYDIN: Yeah, okay, I'll take that. I mean
16 I don't know if Mariko and I are the best people to -- I
17 mean, again, I think we would just definitely direct you
18 to the people who are in the guts of the downscaling of
19 various simulations.

20 Before that we started, I think those were like
21 just the -- we could not give a climate scenario. We've
22 been focusing on the ESSP3-7.0 as the model climate
23 scenario. Those four, I believe, are selected based on
24 kind of the -- we think that climate scenario had good
25 coverage of potential outcomes.

1 You know, we have all the intention to add more
2 to that dataset, but some of the limitations that we
3 have is that the large ensemble ones that are
4 downscaling with a different approach are available, as
5 I mentioned earlier, so that creates some challenges.
6 And we're trying to figure out if we can, and how to
7 incorporate that if possible.

8 In terms of the biases, all of those simulations
9 are bias-corrected based on historical observations
10 through 2014. So, we're hoping that, you know, with
11 some lags, you know, that the residual bias that might
12 be left in those models are not as big as, you know, you
13 would want to avoid.

14 But in terms of the global warming levels, you
15 know, that is a big source of uncertainty, right. Just
16 so, you know, I think one approach could be to just lock
17 in a global warming scenario and just look at the
18 possible range of outcomes for that global warming
19 level. But I don't know if that helps really narrow
20 down of what the exchange would look like because the
21 global warming levels might be a little different. And
22 just picking that one global warming level might be
23 really challenging.

24 And, you know, that was the main kind of process
25 we were thinking and so the --

1 MS. AYDIN: Yeah, so the -- right, your second
2 -- thank you for your questions, Alex. Your second
3 question is still something that we're exploring. And
4 just to summarize, our selection of the four GCMs, it
5 was really just data availability. Because, you know,
6 these projections are still in the process of being
7 released. So, those were the four runs that we had
8 hourly data for.

9 And eventually, for demand forecasting we do
10 need it at the hourly level. Because if we just use the
11 daily runs, then we create more of a disconnect between
12 the peak model and the hour, the HLM. So, we do want to
13 focus on data where we have hourly data.

14 And then, in terms of how were the four GCMs
15 selected out of all the IPCC runs, that's sort of
16 another question. So, that's something that the
17 Scripps, and UCLA, and UC Berkeley, they went through a
18 process of sort of selecting which runs they'll
19 downscale.

20 So, again, this might not be a satisfying answer
21 -- but I would again point to their work because they
22 could respond to that much better than I could.

23 MR. AYDIN: One thing I know is they collected
24 the information from a variety of stakeholders about
25 like the needs to capture, you know, the general trends

1 of different weather variables of interest, and extremes
2 in terms of the grid planning. And I know that they've
3 considered that when they're selecting.

4 But in terms of the specifics of how they picked
5 those four, yeah, I mean I think Mariko and I don't have
6 the specific answer.

7 MR. PUSCH: And maybe to clarify the question
8 around the four GMCs, it's less about how are those
9 selected kind of from the climate assessment, but kind
10 of how are you accounting for potential bias just kind
11 of in only looking at four, knowing that there is kind
12 of a larger set of I think 15 downscaled climate
13 assessment, and kind of how are you benchmarking that to
14 understand --

15 MR. AYDIN: Yeah, I mean -- no, okay, that makes
16 sense. Yeah, I mean I think not all 15 of them will be
17 downscaled, at least not at the hourly level. So, you
18 know, we may not be able to fully benchmark that.

19 But I think, you know, the four, this is more
20 like, you know, an illustration of our approach and kind
21 of preview. As more of the 15, a larger subset of the
22 15 gets downscaled and becomes available, we will for
23 sure incorporate into our analysis.

24 But again, each model, individually, are bias
25 corrected with respect to the historical records. So,

1 you know, there's that kind of anchor point to the
2 observations that are seen.

3 But there is some kind of modeling, error
4 modeling uncertainty that needs to be accounted for.
5 And I think to address that, really what we want to do
6 is just use as many of the models as they become
7 available. But, you know, just do some kind of, maybe,
8 benchmarking outside of that to see if there's any kind
9 of residual bias from that subset of four, or eight, or
10 however you might end of at the end of the day compared
11 to the full 15 models that are being developed at the
12 global level.

13 MS. JAVANBAKHT: Okay, thanks.

14 Okay, I'm going to move to -- we're about to
15 wrap up, so I'm going to do one more question from the
16 online Q&A, and then I'm going to turn it over to Ben
17 for closing remarks.

18 So, Alex, there's a question for you from Claire
19 Broome: How does cost effectiveness of PV for a Title
20 24 change under the net billing tariff, what about for
21 multi-unit new buildings if the proposed decision for
22 VNEM stands. And if not cost effective, will that
23 effect assumptions about PV adoption?

24 MR. LONSDALE: Well, thank you for the question,
25 Claire, appreciate it.

1 So, as far as assessing cost effectiveness for
2 net billing for VNEM, that's more so CPUC's domain. And
3 we have not looked closely at these proposed changes or
4 how it would relate to Title 24.

5 I will note that the Title 24 impacts are not
6 based -- or our forecasted distributed generation
7 impacts association with Title 24, they're not based on
8 an assessment of cost effectiveness. We're modeling
9 compliance-based installations for new construction.

10 MS. JAVANBAKHT: Thanks Alex. We can do one
11 more question, okay.

12 Then I will do, the Lumen presentations were
13 excellent and high quality analysis. One question to
14 help understand the source of projected increase in
15 extremes, conceivably an increase in extremes could come
16 from two sources. One, scaling the historical
17 distribution of temperatures by the projected increase
18 in average temperature. And two, a projected widening
19 of the distribution of temperatures beyond what would be
20 expected from the increase in average temperature. For
21 example, reflecting changes in the climate dynamics.

22 I think both of these were included in the Lumen
23 methodology, but can anything be said about the relative
24 contribution of each to the increase in extremes?

25 MR. AYDIN: Well, yeah, thank you for your

1 question, it's really a question. So, I just want to
2 clarify the results that Mariko and I showed today
3 included temperature distributions based on either
4 solely historical observations or separately based on
5 solely climate projections. And the climate projections
6 include kind of modeled historical period as well, but
7 they're all full kind of model.

8 And, you know, when looking at the projected
9 changes, we see the entire distribution shifting but
10 also, you know, getting wider in some cases. And really
11 difficult to pinpoint which one of those two contribute
12 the most in terms of getting extreme.

13 My expectation is they're both really important.
14 So, you know, basically getting the historical and
15 scaling it up based on average increases wouldn't really
16 get you the kind of extremes that would really be seeing
17 in the future. So, you know, you have to factor in,
18 definitely, the potential increase in variables.

19 But that might just vary based on location,
20 climate model, or the scenario that's being considered.
21 So, we need to look at that more carefully.

22 MR. WENDER: I think with that I'll take us into
23 the lunch break. I'll just reflect briefly on this
24 morning. Incredibly impressed with the breadth and
25 detail at which you guys are working and incorporating

1 some of these incredibly challenging questions into
2 California's planning, energy planning processes.

3 I couldn't agree more, Mariko, I think
4 California has some of the most sophisticated approaches
5 and transparent approaches. And the questions you guys
6 are grappling with, how should we factor climate change
7 into our forecasting, into our planning decisions, how
8 do we account for proliferation of behind-the-meter
9 resources and make sure they're accounted for
10 accurately. Just, really, nation-leading work. And
11 learning a lot this morning. So, look forward to this
12 afternoon.

13 I think I will pass it to Stephanie to give a
14 quick remark about the afternoon session and when we'll
15 be back. And my sincere thanks again to all the
16 presenters this morning.

17 MS. BAILEY: Thanks Ben. Yeah, just a quick
18 reminder, we'll be breaking until 1:30. So, we'll see
19 everyone back here then for the afternoon session.

20 And just a quick reminder to use the same link
21 to join for the afternoon. Thank you.

22 (Off the record at 12:23 p.m.)

23 (On the record at 1:30 p.m.)

24 MS. BAILEY: Good afternoon everyone, welcome
25 back to today's Commissioner workshop on load modifier

1 scenario development.

2 Again, I'm Stephanie Bailey with the Integrated
3 Energy Policy Report team, or IEPR for short, here at
4 the CEC.

5 And to follow along with today's discussion, the
6 workshop's schedule and presentations are available on
7 the CEC's website.

8 And the workshop is being recorded and a
9 recording will be linked to the website shortly
10 following the workshop, and a written transcript will be
11 available in about a month.

12 Attendees can provide comments on the workshop
13 by making comments during the public comment period at
14 the end of the afternoon or by submitting written
15 comments by following instructions in the meeting
16 notice. And those comments are due September 1st.

17 Attendees are also welcome to ask questions
18 during the question and answer period, after the
19 presentations this afternoon.

20 Those participating on Zoom can use the Q&A
21 feature to ask questions. And for those on site, staff
22 will direct you to the correct spot.

23 And with that, I'll turn things over to Vice
24 Chair Gunda. Thanks.

25 VICE CHAIR GUNDA: Thank you. Welcome

1 everybody, welcome back. I missed out a part of the
2 morning session today, especially the amazing Nick
3 Fugate. He complained a lot about me missing. But
4 Nick, thank you for your work. I will watch the
5 recording and follow with any questions I may have.

6 But yeah, I think I'm good to get started, a lot
7 more information this afternoon.

8 Ben, do you have anything you want to add?

9 MR. WENDER: Just quickly say very excited to
10 dive into it this afternoon. I think these are some of
11 the most critical drivers of load growth and how we'll
12 really meet our climate, human, public health protection
13 goals. And so, the extent to which you guys can help
14 pave the way and plan our future grid to enable that is
15 just critical. So, looking forward to it.

16 VICE CHAIR GUNDA: Commissioner McAllister just
17 got here and I know he can provide comments on the go,
18 if he wants to. Commissioner, did you want to say
19 anything before we get started?

20 (No audible answer)

21 VICE CHAIR GUNDA: All right, with that I will
22 pass it back to the team to get started.

23 VICE CHAIR GUNDA: Thanks. Our first speaker is
24 Ingrid Neumann.

25 MS. NEUMANN: All right, I hope everyone can

1 hear me and see me. Oh, there I am. My name is Ingrid
2 Neumann and I'm presenting on Additional Achievable
3 Energy Efficiency, AAEE, and Additional Achievable Fuel
4 Substitutions, AAFS, updates for the 2023 IEPR cycle.

5 Next slide, please. So, before we go into the
6 forecast updates, I'd like to put out there that EAD
7 does quite a few different types of decarbonization
8 analyses. And sometimes that can be a bit confusing
9 because they have different time horizons, varying
10 uncertainty and varying uses. All of them include
11 energy efficiency tracking or projects, as well as
12 building electrification or fuel substitution tracking
13 and projects.

14 Next slide. So, some of these are shown down on
15 the bottom here with the timeline. We first probably
16 came to the forefront for most of the public that
17 doesn't follow the forecast directly with the SB 350
18 tracking towards the energy efficiency doubling goal in
19 2030. And that analysis is historic going from 2015
20 through protections to 2030.

21 Then the first time that we started doing
22 specific fuel substitution or electrification scenarios
23 was for the building electrification -- sorry, building
24 decarbonization analysis under AB 3232, and that also
25 had a 2030 deadline for GHG reductions.

1 Now, for the forward looking pieces which the
2 forecast examines we have AAEE, and that's been around
3 for awhile. AAFS was introduced as a load modifier in
4 2021, so that was the last full IEPR cycle.

5 That parallels the exact timeframe that the
6 baseline forecast is forecast, so that's not just 10
7 years, but a 15-year forecast now. So, we are doing
8 this from 2024 all the way out to the nice round year of
9 2040.

10 We also extend our analysis all the way to 2050
11 in support of our long-term demand scenarios so that can
12 be used as an input for SB 100 analysis later at the end
13 of this, and next year.

14 Next slide, please. So, no focusing directly on
15 the forecast. We are proposing again to do six full
16 scenarios of AAEE and doing six scenarios of AAFS for
17 the 2023 IEPR. Those will range from conservative to
18 optimistic, where the conservative one is labeled 1 and
19 things become increasingly optimistic to a very blue sky
20 aggressive version in 6.

21 Scenario 3, in the middle, is designed to be a
22 business as usual, or a reference, or current most
23 probably case. Note, sometimes you hear about the
24 single forecast set and in fact that is a portfolio of
25 scenarios for each load modifier and the baseline

1 forecast.

2 So, as you heard about earlier, next slide
3 please, there are two sets of AAEE and AAFS that will be
4 used in combination with the baseline forecast as load
5 modifiers to make a managed demand forecast.

6 One set is used for the statewide planning
7 scenario and another set for the local reliability
8 scenario.

9 Next slide. So, what exact are AAEE and AAFS?
10 Why do we have these load modifiers?

11 So, the objective here is to continue to focus
12 on firm programs and projections since the core
13 scenarios, the ones just mentioned for these managed
14 scenarios, will be used for planning and procurement by
15 CPUC and CAISO.

16 As in previous iterations, staff will develop
17 variations around these most probable futures to show
18 other possible outcomes, ones that are more conservative
19 and ones that are more aggressive, given less or more
20 effort and the ability to realize the potential of
21 existing or proposed energy efficiency and fuel
22 substitution programs.

23 AAFS continues to be conceptualized separate
24 from AAEE.

25 Next slide, please. So, we get a lot of

1 questions about how these work. And we do make sure
2 that any overlap between these load modifiers, as well
3 as the baseline energy demand forecasts are accounted
4 for. Only achievable energy efficiency savings or fuel
5 substitution impacts that go above and beyond that which
6 is already incorporated in the baseline energy
7 consumption forecasts are retained. So, everything is
8 counted once and only once.

9 Next slide. Both AAEE and AAFS reduce gas
10 consumption. Right, our demand forecast includes gas,
11 as well as electricity.

12 On the electricity side, AAEE also reduces
13 electricity consumption. But AAFS increases it. Thus
14 AAEE is called savings and we're using impacts for AAFS.

15 Both load modifier increments and decrements are
16 always relative to the baseline electricity and gas
17 consumption on an annual basis.

18 For electricity, is it also modified by both
19 AAEE & AAFS on an hourly basis.

20 Lastly, AAFS may contain both programmatic
21 inputs, which I will talk about, as well as technology-
22 based fuel substitution which is modeled by the FSSAT,
23 which will be described in the subsequent presentation
24 by Ethan Cooper. That was suggested in 2021, but it
25 wasn't implemented at that time. We are, however, doing

1 so for 2023, for the 2023 IEPR cycle.

2 Next slide. So, we're going to look at a bit of
3 the general approach to how we might develop the
4 scenarios and what goes into them, and how much of the
5 penetrations go into the different scenarios.

6 So, we have six scenarios and if we start from
7 the bottom with the most conservative, that would
8 include something that we would call firm commitments.
9 These are existing programs and standards that are not
10 yet incorporated in the baseline forecast. That's our
11 most certain AAEE or AAFS scenario.

12 Next slide, please. Then we add some newly
13 existing programs. Those definitely will occur, but
14 there is some uncertainty around the impacts.

15 Next slide. Scenario three, which is our
16 business as usual, will include newly developed and
17 funded programs that maybe haven't started
18 implementation yet, but they are planned for the future.
19 They are in process, they're reasonable to occur, but
20 there is some uncertainty about the penetrations or the
21 volume of impact or savings.

22 Next slide. Then we start taking a blue sky
23 view of these things. So, the first -- or the fourth
24 scenario here, where we're starting to get a little
25 optimistic, we're taking everything that we see in the

1 first three scenarios and we're ratcheting up compliance
2 rates, participation, and incentive programs, market
3 adoption and funding, and just taking an optimistic view
4 of this likely to occur.

5 Then the fifth scenario, on the next page, would
6 start adding more speculative programs. So, these might
7 be things that are in the early planning phases but
8 haven't been completed. These programs might help meet
9 minimum GHG reduction goals, such as those under AB 3232
10 or SB 350 doubling. But, you know, they are a glimmer
11 in someone's eye.

12 Lastly, on the next slide, we would start
13 including all possible achievable energy efficiency and
14 fuel substitution. So, programs that could exist in the
15 future and that would be required to meet some of our
16 policy goals. Perhaps this would help us reach our
17 midcentury GHG reduction goals. But this is very
18 optimistic, very aggressive, including everything that's
19 possibly achievable.

20 The next slide has a summary of all the
21 scenarios, so that one's nice to look at in summary.

22 And then, we'll go on to the next slide, please.
23 So, for 2023, as we're developing the programmatic
24 components of AAEE and AAFS we are using an updated and
25 enhanced version of the savings accounting, aggregation,

1 and extrapolation methodology and tools that were
2 previously employed for the 2021 IEPR.

3 All historical data and potential savings
4 projections were or are being updated in existing
5 workbooks.

6 New workbooks are being added on recent
7 programmatic activities.

8 And then in the tool itself, we have added
9 building type disaggregation or subfactor, as well as
10 forecast zone output capability.

11 We've also added basic cost calculations for
12 each scenario, so the value of various energy
13 efficiencies and building fuel substitution impacts can
14 begin to be quantified.

15 Some of these are pretty good estimates, others
16 are very high level. But the hope is that we can at
17 least get some order of magnitude quantification here.
18 And, of course, as with all of our pieces this is always
19 an iterative process where we update and enhance every
20 cycle.

21 We have also been working on enhancing the input
22 data, as well as the software tools depending on which
23 part makes the best sense to work on to allow for better
24 extrapolation of potential savings to the midcentury.
25 So, we do have to go out to 2040 for the forecast, but

1 then we're going beyond that for the long-term demand
2 scenarios.

3 So, let's go to the next slide. This gives us a
4 little bit of a flow chart on what the process is for
5 the data integration tool and our three big chunks of
6 data.

7 So, in the middle we have the CPUC's Potential
8 and Goals Study that gives the IOU program projections.
9 And that is updated every two years on cycle with our
10 entire demand forecast updates. So, we have fresh data
11 for 2023 and we usually develop those scenarios, and do
12 propose doing so this cycle, around the proposed goals
13 scenario, so what's now the proposed goal.

14 For the CMUA, they also do a Potential and Goals
15 Study for the POU projections. That is done every four
16 years. So, we are still using the same underlying data
17 as was submitted in their report in 2021.

18 Then, the last bigger box on the bottom is where
19 the Energy Commission has a bunch of different workbooks
20 where there is separate analysis for each of these
21 Beyond Utility Programs. And that includes codes and
22 standards integrate part, and we have the first year
23 projections modeled for all of those for 2024 to 2040.

24 Next slide, please. There is a little bit of
25 interaction between those Beyond Utility workbooks and

1 the CPUC's Potential and Goals Study. Mainly, that's
2 for the federal planned standards in Title 20. We
3 always seek to use the best source of data and sometimes
4 that's in our Beyond Utility workbook and other times
5 that's from the Potential and Goals Study.

6 As I'll mention later, the Title 24 Building
7 Energy Efficiency analysis was completed updated for the
8 2023 IEPR cycle. So, that lives in our Beyond Utility
9 workbooks.

10 So, you can see that we need to extrapolate the
11 10-year Potential and Goals Study out to 2040, and
12 that's where we're actually looking at enhancing that
13 input data, and not doing that in our tool separately,
14 because the CPUC and the IOUs understand their programs
15 best.

16 Fortunately for POU programs, what they
17 submitted in 2021 already went out to 2041. So, we can
18 take that data directly and develop scenarios around
19 that.

20 Next slide, please. So, finally, we put all
21 that together in our data integration tool and we have
22 total cumulative projections for AAEE and AAFS for the
23 forecast period by utility or forecast zone, sector as
24 before. Now, we've added the building type. And then,
25 end use and scenario as before.

1 For the electricity portion we apply the load
2 shapes to get full 8760 hourly outputs for both energy
3 efficiency and fuel substitution load modifiers at the
4 same level of disaggregation.

5 So, some additions and enhancements here for
6 2023. We've included a more robust analysis of Beyond
7 Utility programs, so again those are the programs not
8 run by the IOUs or POUs, or not reported by them, that
9 were originally evaluated in the 2021 IEPR.

10 Notably, the technology and equipment for clean
11 heating or TECH program, as well as consideration of
12 additional programs that were not included in the 2021
13 IEPR, mainly because they didn't exist yet.

14 So, a couple of those. Ah, before we want to
15 mention reworking the Title 24 analysis. So, when these
16 -- when this work was originally conceived, it was done
17 as a percent better than approach, so present better
18 than the previous code cycle approach.

19 And we've revised this to be more detailed so
20 that the Title 24 building energy efficiency standards
21 analysis is based directly on the measures at the sector
22 and segment level.

23 So, this measure-base analysis not only can be
24 more easily rolled forward as specific measures are
25 adopted in future code cycles, but it can also be better

1 disaggregated by end use.

2 So, we've also updated the compliance pathway
3 that is deemed most likely to be chosen by builders to
4 meet the 2022 Title 24 requirements. As a reminder of
5 those options were either enhance energy efficiency
6 measures via a performance calculation that's existed in
7 many code cycles for Title 24, but in 2022, which that
8 code has been in effect since January of this year, the
9 other option was to choose electrification measures
10 based on building climate zone. So, definitely
11 encourage that.

12 So, we have a better separation as to what goes
13 in the AAEE an what goes into the AAFS. And, of course,
14 that will be updated as, you know, that EMNV on that
15 data is done, but it's only been in place since January
16 of this year.

17 Next slide, please. So, we've added some new
18 workbooks. Some notable ones are the Equitable
19 Electrification workbooks. There are two programs there
20 that are currently being developed in the Efficiency
21 Division of the Energy Commission. One is a direct
22 install program and the other one is an incentive
23 program.

24 And then, there's the Clean Energy Reliability
25 Investment Plan funded program, which are also being

1 developed, and maybe are a little bit less far along,
2 but should have some impacts here. So, some people know
3 those by their fun acronym, CERIP.

4 Then, in the second bullet, the Federal
5 Inflation Reduction Act has two programs, as well, the
6 High Efficiency Electric Home Rebate Act, or HEERA, and
7 the Whole House Homeowner Managed Energy Savings, or
8 HOMES, Program. And those, we've developed workbooks
9 for those as well, and we'll update those with more
10 information as the details come out, and as the programs
11 are then implemented. But at least we're counting them
12 for 2023.

13 Something that we've been working on, which
14 maybe doesn't have the largest impact, but is really
15 interesting, are the locally targeted electrification
16 impacts that can be driven by government ordinances, or
17 load-serving entity decarbonization programs. So, these
18 are more geographically targeted electrification
19 initiatives that thus far might have small impacts, but
20 if they spread they would have larger impacts, and they
21 matter quite a bit for some of the local reliability
22 work.

23 Next slide, please. So, this is a list of
24 elements to be included. We're kind of putting them
25 into the scenarios and doing some preliminary runs, and

1 filling in, you know, some of the data still. And we'll
2 have a workshop in November where those results then are
3 presented.

4 We might be a slide behind. Next slide, please.
5 There we go. All right, so we mentioned the IOU
6 programs, right, that come from the 2023 CPUC Potential
7 & Goals Study. Then, some other IOU data that's pulled
8 directly from the CEDARS database helps us with fuel
9 substitution activities, especially for CCAs and REMS
10 that aren't, you know, captured in the Potential and
11 Goals Study yet.

12 Then, we have the CMUA Potential Study for the
13 POU Programs. And we're conducting interviews again
14 with the POUs on their recent fuel substitution
15 activities, so we can update those workbooks.

16 And, of course, future Title 20 and Federal
17 Appliance Standards, it looks like there's going to be
18 some movement with the Federal Appliance Standards there
19 in the near future, one can hope. So, we're always
20 looking for more energy efficiency, right.

21 And then, of course, the updated Title 24
22 analysis, with 2022 and beyond.

23 And then, as Ethan will talk about, we are also
24 including zero emission appliance technology
25 characterization modeled via the FSSAT, which includes

1 CARB SIP regulation. So, that's the state
2 implementation plans, so we'll have different variations
3 of that, as well as other more local initiatives by the
4 Air Quality Management
5 District.

6

7 As I mentioned before, the local ordinances
8 encouraging electrification of some or all end-uses, as
9 well as other targeted electrification including local
10 natural gas bans are also being analyzed.

11 Then, of course, we have a lot of other bread
12 and butter type of traditional energy efficiency
13 programs that exist outside of the Utility EE Programs.
14 The BUILD and TECH programs, CERIP as I mentioned
15 before, the California Electric Homes project, the
16 CalSHAPE for schools, the wildlife -- wildlife? Okay,
17 so the WNDRR, and I -- it's the resiliency of like
18 wildfire. See, it's wild something. I don't know. I'm
19 just thinking of like fuzzy animals. I'm missing my
20 cats that usually are my office mates.

21 All right. So, I'm looking, it's the Wildfire
22 and Natural Disaster Resiliency Rebuild Program. So,
23 that is a program that targets folks who have lost their
24 homes in that type of situation. It's a \$50 million
25 over ten years. And it promotes all-electric rebuild.

1 So, if you are going to rebuild, at least let's do it in
2 a way that limits are GHG emissions that, you know,
3 caused all that climate change the wildfires to begin
4 with.

5 And then, we have the IRA-HEERA & HOMES, and the
6 Equitable Building Decarbonization Programs, the Direct
7 Install and the Incentive Programs.

8 So, a little bit more on the next slide. So,
9 this is a reminder of the program -- of the process
10 flow. So, we end up in the orange box on the top right
11 with the total cumulative projections for each year.

12 And what that really looks like, then is we
13 would get a grid that would be difficult to read on a
14 screen like this, maybe on the big screen in the room
15 here it's possible to see on the next slide, when we
16 have our final scenarios.

17 And that would have the different levers that we
18 could pull for the IOU potential program savings, as
19 well as the POU potential program savings, as well as
20 the different codes and standards, and the different
21 vintages of those codes and standards, as well as the 40
22 odd Beyond Utility Program Savings workbooks that we
23 would included here. So, that's for all the
24 programmatic pieces.

25 And then, we would layer for AAFS the FSSAT

1 modeling on that to have a complete AAFS scenario.

2 So, what I'd like to highlight on this slide are
3 the yellow scenario two and scenario three. Right,
4 those are the ones that are used for the core planning
5 processes, whether it's statewide for scenario three and
6 local reliability for scenario two, on the next slide
7 it's the same approach for the AAFS.

8 And instead of using less fuel substitution
9 penetration, it was determined in 2021 that it really
10 made more sense for a conservative electricity planning
11 scenario, which should be the local reliability one, to
12 include a slightly higher fuel substitution penetration,
13 which is why there's a circle around scenario four.
14 And that's what we're proposing this go around as well,
15 and as I'm sure you've seen in our general forecast
16 slide previously.

17 Next slide. So, some of this can be a little
18 confusing as to what happened when, so put together
19 three pieces here as far as what we did in the full
20 update in 2021.

21 We had the six AAEE scenarios. Those have been
22 around for a while. And we had a Statewide Planning
23 Forecast that included the scenario three for both
24 energy efficiency and fuel sub. Fuel sub was new in
25 2021 and there were only five scenarios, so that's what

1 I've highlighted here. And the reason for that was that
2 there were some few programs at that time, the impacts
3 weren't particularly big. So, having something with --
4 something that had a scenario one, which was extremely
5 conservative, really wouldn't have been different than a
6 scenario two, so we decided not to develop that.

7 All right. So then, as I mentioned before, the
8 local reliability scenario had the AAEE 2, as has been
9 the case for a while, and then we determined in 2021
10 that a slightly higher fuel substitution penetration
11 made sense for a conservative electricity planning
12 scenario.

13 So, the next slide. Now, we usually do not do
14 an update, and it's not our intention to do that
15 normally in the interim years. So, the even years of
16 the IEPR cycle for the load modifiers. But what was
17 different here is that CARB did pass their State
18 Implementation Plan, and that has significant impacts,
19 especially after 2030.

20 So, we did want to include that for local
21 reliability, so that was layered on top of the existing
22 2021 scenarios for AAEE and AAFS. So, that was layered
23 on top of AAFS 4 in some ways.

24 So, what we're doing in 2023 is we're fully
25 incorporating that with our analysis so it doesn't look

1 like, you know a separate thing. It was just we didn't
2 want to be misleading. And we didn't update any of our
3 programmatic pieces, you know, so we were just adding
4 that SIP modeling there.

5 So, here we are on our next slide. So, proposed
6 for 2023, right, the six AAEE scenarios, six AAFS
7 scenarios, and then for the planning forecast, you know,
8 it's the same, three and three. But AAFS 3 will now
9 include some FSSAT SIP modeling that Ethan will go into.
10 And one, maybe more conservative version than the one
11 that goes into AAFS 4, for the local reliability
12 scenario.

13 So, moving on to some of the last slides I have
14 here, of how those are all integrated to the managed
15 demand forecast scenarios. So, this is just looking at
16 2023, pretty much a copy of what was in that third
17 bubble on the last slide.

18 And the next slide, please. What's really
19 different here, and I don't want folks to get confused
20 about, is that the AAFS scenarios are now going to be
21 inclusive of FSSAT SIP modeling or other zero emission
22 appliance standards modeling that Ethan will go into.

23 So, I also want to point out that AAEE
24 electricity and gas savings can be separated. AAFS,
25 electricity and gas cannot, right, because the gas

1 really is being displaced and substituted by some
2 electric or electricity-using technology.

3 So, we do prioritize fuel substitution over
4 energy efficiency in our work because the GHG impacts
5 are approximately four times greater for fuel sub, than
6 for energy efficiency.

7 And the way that we do this is on the next
8 slide. Also happens to be my last slide.

9 So, we start with the baseline gas demand
10 forecast and we remove the gas displaced by the
11 programmatic fuel substitution. So, like things like
12 the Tech Program, Equitable Electrification, et cetera,
13 and all of those programs in there.

14 Then, we apply the technology based fuel
15 substitution, modeled by the FSSAT that Ethan will go
16 over, which includes the State Implementation Plan
17 scenarios.

18 And what can happen then is it's possible to
19 exhaust gas consumption in certain sectors and end uses.
20 So, we don't apply the energy efficiency pieces until
21 the end.

22 So, in the case that some energy efficiency
23 can't be realized, we would modify our AAEE gas
24 scenario, then. So, it's definitely only displacing it
25 once and we're keeping everything realistic there.

1 So, that is all for me. The final slide has my
2 email on it, if folks want to send me a question. And,
3 of course, we're taking questions and comments right
4 now, as well, or I'll go -- the docketed comments,
5 right, for the workshop. Thank you.

6 COMMISSIONER MCALLISTER: Thanks a lot, Ingrid.
7 I'm just going to just go first and go quickly because I
8 have to step out for a call.

9 But thanks for that. It was really a very
10 complex mosaic of sort of data analysis that you're, you
11 know, managing to bring together and integrate into one
12 whole that I think hopefully, you know, both we and the
13 world can follow.

14 I wanted to make sure we just get on the table,
15 you know, the aggressive goals we have for heat pumps,
16 the 6 million heat pump goal by 2030, and the three in 7
17 million climate friendly climate-ready homes by 2030 and
18 2035, respectively. Which are aligned, basically as,
19 you know, parallel goals for the state. So, interested
20 in how that all fits into the scenarios.

21 And secondly, I want to just highlight that, you
22 know, what the 3232 Study found was that, you know,
23 absolutely electrification, and specifically heat pumps,
24 are really the only scenario, the only kind of path that
25 gets us anywhere close to our buildings related

1 emissions goals.

2 But actually, also, not just any heat pumps.
3 Really, the best bet is efficient heat pumps. And so,
4 you know, wanted to just make sure that that nuance is
5 in there. You know, not just any minimally compliant
6 heat pump, but actually try to understand the
7 incremental benefit of going for the highest tier of
8 efficiency of heat pumps. And I think that makes --
9 that will make some difference, certainly in the cost
10 landscape for the system overall. So, just wanted to
11 sort of put that in and make sure it's getting covered
12 in your analysis. And perhaps even some sort of text or
13 verbiage around that distinction.

14 But really, really appreciate the overview of
15 the AAEE and AAFS. Really key components of our demand
16 going forward. Thank you.

17 VICE CHAIR GUNDA: Commissioner McAllister,
18 before you jump out, are you suggesting, so we've -- on
19 the transportation side, at Commissioner Rechtschaffen's
20 request, we considered -the additional achievable
21 transportation. We took the scoping plan and then baked
22 it into our forecasting for RA purposes -- for IRP
23 purposes. Are you suggesting that we ensure that the 6
24 million heat pumps in the climate-ready homes are baked
25 in for the resource planning?

1 COMMISSIONER MCALLISTER: I mean ideally, yes.
2 I mean I can't -- I don't think we are in a position to
3 say, you know, we're absolutely going to knock it out of
4 the park and meet that goal on the year. I mean I think
5 the scale up in heat pumps that has to take place to
6 meet that 6 million goal is pretty -- is quite
7 aggressive. So, you know, we're trying to develop that
8 marketplace. We're going to pump a lot of money into
9 the sector and we're talking with all the OEMs to make
10 sure the supply chain's there. So, you know, we're
11 doing all the due diligence to help realize that goal.

12 But I certainly think there should be a scenario
13 that does encapsulate meeting the goal, you know, a
14 policy scenario. And then, sort of, you know, see where
15 that falls within the spectrum of the various scenarios
16 you just talked about.

17 VICE CHAIR GUNDA: Thank you.

18 COMMISSIONER MCALLISTER: I'm certainly not
19 going to say that we're not going to meet the goal.
20 Because I do have faith that we will. But I just want
21 to make sure we're starting where we are.

22 MS. NEUMANN: I think the incentive programs are
23 being designed with that in mind. I think where there
24 are some issues is with the SGIP modeling, because if
25 you could -- you could certainly require something that

1 has a certain minimum NOx emissions but that doesn't
2 really look at the efficiency of the heat pump or not.

3 COMMISSIONER MCALLISTER: Right.

4 MS. NEUMANN: But that's where there might be
5 some movement in the Federal Compliance Standards by the
6 time that becomes reality. So.

7 COMMISSIONER MCALLISTER: Possibly. I guess
8 the, you know, the SGIP is going to make sure -- you
9 know, we can do all the new buildings and get all those
10 heat pumps, and that will get us to a certain portion of
11 the goal. But, really, existing buildings and change
12 outs are where the big action is going to have to be to
13 meet that goal.

14 And, you know, we're holding hands tightly with
15 the Air Resources Board on development of the zero
16 emission rules for HVAC and water heating. And, you
17 know, effectively that means electrification, it means
18 full on heat pumps. And if that happens by 2030 which
19 is, you know, their goal, and actually parts of the
20 state are doing it more quickly than that, I think that
21 will give us a really strong chance to meet the overall
22 6 million goal. And that definitely ought to be built
23 into a planning scenario for sure.

24 VICE CHAIR GUNDA: Thank you, Commissioner
25 McAllister.

1 Just I think following up on that, maybe you'll
2 go into this, Ethan. I think I would really appreciate,
3 both from our JASC colleagues, right, CAISO and PUC, but
4 also the DAWG where we, you know, have the benefit of
5 having the IOUs be a part of that, just kind of having
6 the discussion on -- and, obviously, it will be in the
7 policy scenario, but how much do we really want to bake
8 that into -- you know, into the modeling for the IRP
9 purposes, and all the purposes, right.

10 I think what I continue to feel is we need to be
11 a little bit more conservative, meaning higher electric
12 load for a while, rather than on the other side,
13 especially the next several years of uncertainty.

14 This morning we had that wonderful discussion on
15 the climate impacts, so that's one big uncertainty. But
16 the electrification uncertainty especially, you know,
17 geographically, right, that goes into local reliability
18 constraints.

19 I would recommend that we strongly push for, you
20 know, being on the more conservative side of having more
21 electricity on the system and thinking that through.
22 And would love to hear in a public setting, you know,
23 what this discussion's yielded, and kind of justifying
24 where and how we're going to move forward. Thank you.

25 Well, Ben doesn't have questions, so I'm going

1 to just say awesome presentation. Ingrid, I really
2 enjoy how you've taken this extremely complicated rubric
3 of terminology, and we used to have this chaotic menu of
4 things we do, and nicely kind of continue to bucket them
5 in a way that it's understandable. So, really
6 appreciate that. Thank you.

7 MR. GEE: Great. Thanks everybody. Hi, my
8 name's Quentin Gee. I'm the Manager of Advanced
9 Electrification Analysis Branch here at the CEC. And
10 I'll be taking over the mic from Stephanie from here on
11 out.

12 But thanks, Ingrid, for your presentation. And
13 I think now we're going to move it on to Ethan, Ethan
14 Cooper, Associate Energy Specialist in the Advanced
15 Electrification Analysis Branch, talking about
16 incorporating zero emissions standards into AAFS.
17 Ethan, thanks.

18 MR. COOPER: Yeah, can everyone hear me. Okay,
19 that sounds like it works.

20 All right. My name is Ethan Cooper and today
21 I'm going to be -- let's move this over here -- going
22 over our inputs and assumptions for incorporating CARB's
23 Zero-Emission Appliance Standards into our various AAFS
24 scenarios that are being developed for our 2023 IEPR.

25 Next slide, please. So, looking at a bit of a

1 background on some of the emission standards or rules
2 that we are expecting to be including in our modeling
3 process this year, we started based off of are they like
4 an emission rule that's going to be applied to the (loss
5 of audio) -- Yeah, so we decided to split them up -- if
6 there is going to be a proposed measure that's going to
7 be effective for, you know, the statewide as a whole or
8 if it's going to be just going to like a local area or
9 jurisdiction, like an Air Quality Management District.

10 So, starting with looking at the Statewide
11 Emissions Standard that we are looking at modeling,
12 which is the major component of our modeling this year,
13 is going to be looking at CARB's Zero-emission Appliance
14 Water and Space Heating Standard which was proposed in
15 their 2022 State STIP strategy. STIP was the State
16 Implementation Plan

17 This Emissions Standard was looking at creating
18 a rule so that way in 2030 all new space and water
19 heaters sold in California, for either new or existing
20 buildings would have to meet a zero emission standard.

21 And this rulemaking process for this standard
22 started earlier this year, and CARB had the first
23 workshop on it on the 10th. And the rulemaking is
24 expecting to be going to the CARB Board in 2025 for
25 adoption.

1 Moving on from the Statewide Emissions Standard
2 we're looking at, we're also looking at any local
3 emission rules or measures that may be going into effect
4 before CARB's Emissions Appliance Standard that starts
5 in 2030.

6 The first one that we're looking at is the
7 proposed Regulation 9, Rules 4 and 6, of the Bay Area
8 AQMD that are looking at space and water heating
9 appliances. This -- yeah, this zero emission -- or zero
10 emission rules for the Bay Area were adopted by the Air
11 District earlier this year in March.

12 And as what the rules are, Rule 4 is looking at
13 creating a zero NOx appliance standard for natural gas-
14 fired space heaters. So, that would begin in 2029.

15 And the Rule 6 is looking at creating a zero NOx
16 emission standard for natural gas-fired water heaters,
17 which was started in 2027 for smaller water heaters and
18 2031 for larger water heaters.

19 Next, moving on to the South Coast AQMD's low-
20 and zero-emission control measures. These are control
21 measures that are implemented by or proposed in South
22 Coast's 2022 Air Quality Management Plan, or AQMP. And
23 these are measures that will be applying to multiple end
24 uses, more than just water or space heating.

25 But for the purposes of our modeling, in our

1 tools we're only going to be looking at the control
2 measures for the residential sector.

3 And the control measures here that we're talking
4 about, these are looking primarily at creating either
5 rules or other strategies that would help with shifting,
6 or I guess and to encourage or mandate the moving from
7 natural gas-fired appliances for HVAC, water heating,
8 cooking, and then other end uses, miscellaneous end uses
9 over to zero- or low-NOx alternatives starting in 2029.
10 And when I say miscellaneous, that means other end uses
11 in the residential sector, such as clothes dryers.

12 So, these are the different statewide and local
13 mission rules or standards that we're planning to model
14 for our 2023 IEPR. And the tool that we're using, which
15 I'm going to go into in the next slide, is called FSSAT.

16 Next slide, please. So, for our building
17 decarbonization this year, of CARB's Zero-Emission
18 Appliance Standard, we are going to be using the Fuel
19 Substitution Scenario Analysis Tool, or FSSAT. This
20 tool has been used previously for prior assessments done
21 in the CEC, it's been done, it's been used for the AB
22 3232, California Building Decarbonization Assessment.
23 That was adopted in 2021. The Demand Scenarios Project
24 that was adopted in 2022. And the 2022 IEPR Demand
25 Forecast Update that we worked on last year.

1 So, we classify FSSAT as a "what if" policy
2 analysis tool which looks at examining both the cost,
3 energy, and greenhouse gas impacts of various fuel
4 substitution scenarios, with each of these different
5 scenarios having their own levels or assumptions about
6 what the additional achievable energy efficiency, AAEE,
7 or fuel substitution, AAFS scenarios are going to be.

8 And for our iteration of modeling CARB's Zero-
9 Emissions Appliance Standard we are going to be using
10 some of the same technology set of assumptions that we
11 used for prior assessments, for both the 2022 IEPR
12 Demand Forecast Update, as well as the Demand Scenarios
13 Project, and the AB 3232 assessment.

14 So, last year as we said, in this slide, we were
15 able to use the FSSAT tool to model the impacts of the
16 Zero-Emissions Appliance Standard for the 2022 IEPR
17 update. This was the first time we used the FSSAT tool
18 to provide any load modifier impacts for the demand
19 forecast.

20 And we were able to use the tool to model both
21 the gas savings, as well as the added electricity
22 impacts of the Zero-Emission Appliance Standard. And
23 they were used as load modifier, alongside with AAFS
24 Scenario 4, as part of our local reliability scenario
25 for the 2022 IEPR forecast.

1 So, these are the assumptions -- so, this is the
2 tool that we're using and kind of how it's been used
3 previously.

4 And now, we're going into the next slide about
5 some of the updates that we are doing to our assumptions
6 for the Zero-Emission Appliance Standard in the FSSAT
7 tool for our 2023 IEPR.

8 So, on the table here, we can see that the major
9 update that we're doing this year is that rather than
10 having the Zero-Emission Appliance Standard modeling for
11 just a single scenario within our demand forecast,
12 instead of just being modeled for AAFS Scenario 4, like
13 what was done last year, it's going to be modeling into
14 four various AAFS scenarios. That would be AAFS
15 scenarios 3 through 6.

16 So, on this table here we can see the column
17 headers dictate which AAFS scenario we're at including
18 the Zero-Emission Appliance Standard into.

19 And the rail headers, under AAFS Levers column,
20 shows what different programmatic or technical levers
21 we're able to pull on our FSSAT tool in order to change
22 how we're going to be modeling the Zero-Emission
23 Appliance Standard amongst the four AAFS scenarios.

24 And the boxes on the far left, the dark blue and
25 the dark green boxes, those dictate whether or not our

1 AAFS scenarios are looking at our programmatic
2 characterization of our AAFS scenarios, so for AAEE or
3 AAFS programmatic impacts.

4 And then, the green box looks at our zero
5 emission appliance technology characterization, so
6 anything that we are modeling in FSSAT for our Zero-
7 Emission Appliance Standards, as it is modeling in each
8 AAFS scenario.

9 So, going down the line about what each level
10 is, so for the first two rows, the light blue and light
11 green, these are looking at our levers to dictate which
12 AAEE or AAFS programmatic scenario we're going to be
13 including in our modeling for the AAFS scenario in the
14 column headers.

15 And then, below that these are our first dark
16 green boxes. These are what the toggles that we choose
17 in FSSAT to dictate how we're going to be modeling the
18 Zero-Emission Appliance Standard.

19 So, the first three rows deal with looking at
20 are we going to have the Zero-Emission Appliance
21 Standard only be applied to water heating and space
22 heating end uses, or we could also have it be applied to
23 other asset end uses which include cooking and clothes
24 drying that we were able to model in our tool. And/or
25 we could be looking at the fuel substitution of

1 residential propane equipment, and that would just be
2 for HVAC equipment or water heating equipment.

3 Now, the next level below that, called AQMDs,
4 that's looking at are we going to be including any of
5 the more local emission rules from the AQMDs that we
6 discussed in the previous slide, which is are we looking
7 at the Bay Area or the South Coast proposed emission
8 rules or measures.

9 And below that our technology set lever. That
10 let's us determine, you know, how are we viewing what
11 technologies are going to be available to replace gas
12 equipment for every end use. Are we going to have a
13 mixture of available technologies that are going to vary
14 by efficiency, or are we only going to allow a single
15 best efficient appliance available be available to
16 replace gas stock.

17 And then below that we have our technology
18 weighting efficiencies. These are how we determine are
19 we going to prioritize higher efficiency appliances or
20 lower efficiency appliances when we have a mixture of
21 available technologies to replace gas equipment.

22 And then below that, our last lever is called a
23 ramp up adoption rate.

24 VICE CHAIR GUNDA: Ethan, just one --

25 MR. COOPER: Yeah.

1 VICE CHAIR GUNDA: -- just a quick clarification
2 on this one.

3 MR. COOPER: Yeah, go ahead.

4 VICE CHAIR GUNDA: So, the AAFS 1 and 2, they
5 are not here, right, so that we had talked about 6. And
6 then those two, what are the levers for those?

7 MR. COOPER: We are not going to be having AAEE
8 or AAFS 1 and we're not going to be having AAFS 2 be
9 included in here. So, they're not -- only -- the Zero-
10 Emission Appliance Standard is only going to be applied
11 to these four scenarios, so they're not going to be
12 applied to anything. It's not going to use any AAEE
13 scenario 1 or AAFS scenario 1, and no AAFS scenario 2
14 for the assumptions.

15 VICE CHAIR GUNDA: Got it. And then, just kind
16 of a clarification. When we're talking about other
17 FSSAT end uses, like what's the rationale not to have it
18 for 3 and again? Sorry, I didn't track it well.

19 MR. COOPER: I think these 3 and 4, just what is
20 the current proposal for CARB's Zero-Emission Appliance
21 Standard, which is just looking at water and space
22 heating. But 5 and 6 is going to be looking at in a
23 more, I think as Ingrid said, high in the sky future.
24 What might happen if that regulation goes into being
25 effective for other end uses, such as cooking and

1 clothes drying, and then how will it look if all of it
2 goes to propane fuel substitution.

3 VICE CHAIR GUNDA: But the rationale, I think,
4 is like because it's not yet --

5 MR. COOPER: Yeah, they're not yet done.
6 They're still in their rulemaking process. So, if that
7 may happen in the future that they actually do want to
8 go to those end uses, then that would be included in
9 those lower scenarios.

10 VICE CHAIR GUNDA: And then, also, are we
11 tracking the other AQMDs' work and proposals?

12 MR. COOPER: We're looking into them, but right
13 now we just have what is currently either the AQMD's are
14 starting a rulemaking process for any of their proposed
15 measures, or anything like the Bay Area that has already
16 adopted their proposed rules. So, we're looking at any
17 more AQMDs that we could possibly include in the future
18 for those more higher scenarios, AAFS 5 and 6.

19 VICE CHAIR GUNDA: Okay, thank you.

20 MR. COOPER: Yep.

21 MR. WENDER: So, maybe can I jump in with one
22 more --

23 MR. COOPER: Yeah, go ahead.

24 MR. WENDER: -- just since we're looking at
25 this. Within the technology set that you consider, what

1 are the ranges of efficiencies for the different types
2 of appliances and, yeah, how are those updated, or
3 tracked, or benchmarked against what's available in the
4 market and how the market's progressing?

5 MR. COOPER: Yeah. This year, when we're
6 working with our consultants to try to update all the
7 technology sections that we have, but currently we have
8 some -- we don't -- I don't know the specific
9 efficiencies, but we have stuff that ranges from like
10 electric assistance water heater to a less-efficient
11 heat pump, to a most-efficient heat pump. So, that's
12 kind of our array of technologies that we have included.

13 But we have pointed out that this year for the
14 next, I guess, 2025 iteration of this modeling. Yep.

15 All right. I think I'm on ramp up adoption
16 rate. So, this is the last lever that we have. This is
17 kind of our toggle to choose what are we going to expect
18 the ramp up adoption going to -- or, I guess that's the
19 same thing. What are we expecting the electric
20 appliance adoption is going to look like in the interim
21 years before we reach any of our targets for either the
22 Bay Area or South Coast, or for the CARB's Zero-
23 Emissions Appliance Standard in 2030.

24 This kind of gives us a good idea about what are
25 the interim years going to look like about adopting

1 electric appliances in lieu of natural gas ones. It
2 helps us, that way we aren't just going from like zero
3 to a hundred percent ramp up from one year to the next,
4 when we go from the year before the standard or rule
5 that comes into effect to the year that it does come
6 into effect. That's just kind of what we're choosing
7 there for that last toggle.

8 So, with that I'm going to go onto the different
9 toggles we're choosing in each scenario. So, for AAFS
10 scenario 3, which is going to be our planning scenario,
11 we're choosing to use programmatic AAEE scenario 3 and
12 programmatic AAFS scenario 3 in our FSSAT modeling.

13 And then below that, we are going to have it so
14 that way CARB's Zero-Emission Appliance Standard is only
15 going to be applied to the water heating and space
16 heating end uses. It's not going to be applied to
17 cooking or clothes drying, and it's not going to be
18 applied to residential propane fuel substitution.

19 And then after that, looking at our AQMD lever,
20 we are choosing to only include the adopted zero
21 emission rule for the Bay Area AQMD into our modeling
22 for this scenario. As their technology sets, we've seen
23 that there's going to be that mixture of efficient
24 technologies available to replace gas equipment for
25 every end use, ranging from AV electric resistance to a

1 most efficient heat pump.

2 And then, for technology efficiency weighting,
3 we are going to be evenly prioritizing each of the
4 technologies equally, which means that if there were
5 like two appliances to replace the gas HVAC space
6 heater, we would assume that 50 percent of those
7 appliances replacing that gas heater would be the most
8 efficient heat pump, and then 50 percent of them would
9 be the less efficient heat pump. So, that's kind of how
10 we view the evenly weighting being.

11 And then, finally, for ramp up adoption rate, we
12 are going to have a linear ramp up similar to what we
13 had last year, where we kind of have a nice linear trend
14 going up into target dates for either the local areas or
15 for the whole statewide standard.

16 However, we are going to have a 10 percent
17 reduction in the interim years for the ramp up adoption
18 we're going to be having for just statewide adoption for
19 CARB's Zero-Emission Appliance Standard.

20 And that's only going to be a reduction for this
21 scenario. It's not going to be seen in any of the other
22 scenarios, AAFS 4 through 6.

23 All right, moving on to the next scenario, AAFS
24 scenario 4, which is used for our local reliability
25 scenario in the forecast. We are now going to be

1 choosing to use programmatic AAEE scenario 2 and
2 programmatic AAFS scenario 4 as our choices for the
3 programmatic impacts in this scenario.

4 And all the different levers in the green boxes
5 are pretty much the same between AAFS 4 and 3, with the
6 only difference being that AAFS scenario 4 now has a
7 linear ramp up without the 10 percent reduction rate in
8 the interim years.

9 So next, moving on to AAFS scenario 5. This is
10 our -- this is the beginning of our most aggressive
11 scenarios. This one's going to be using programmatic
12 AAEE scenario 2 and AAFS scenario 5 to provide our
13 programmatic impacts for this AAFS scenario.

14 And then below that, the only difference between
15 AAFS scenario 5 and 4 in the green boxes is that this is
16 where we start to now have the Zero-Emission Appliance
17 Standard be applied to water heating, space heating, and
18 to cooking and clothes drying end uses, and now also be
19 applied to residential propane fuel substitution for the
20 HVAC, and water-heating propane appliances.

21 However, besides that there's no difference
22 between AAFS scenario 4 or 5.

23 Now, going on to the final, most aggressive
24 scenario, AAFS 6, we are now using programmatic AAEE 2
25 and AAFS 4 to provide our programmatic impacts for that

1 scenario.

2 And in the green boxes, the only difference
3 between AAFS 6 and 5 is that AAFS 6 now is including the
4 South Coast AQMD's proposed zero low emission measures
5 into the assumptions that we have, so it's going to be
6 included alongside what we already have for the Bay
7 Area.

8 And then, for technology set choice, we now have
9 it so that there's only a single most efficient
10 technology available to replace gas equipment for every
11 end use we have in FSSAT. And that's going to make it
12 so that way our technology efficiency weighting
13 assumption or lever is no longer applicable because we
14 do not have a variety of efficient technologies now.
15 Have to wait to see how many most efficient technologies
16 are going to be replacing gas versus the less efficient
17 ones.

18 So, that is all of our different assumptions
19 that we're going to be having for the Zero-Emission
20 Appliance Standard modeled into the AAFS scenarios.

21 And one other thing to note here is that we
22 consulted with CARB staff to go work on creating these
23 characterizations and assumptions that we have in the
24 tables on this slide.

25 So, next slide, please. So, the table in this

1 slide is looking at what are our adoption assumptions
2 actually going to be in this FSSAT tool. So, these
3 adoption assumptions look at how we are viewing the
4 adoptions of putting in electric appliances in exchange
5 for gas equipment, and how those adoption assumptions
6 change based off what territory we're looking at. Are
7 we looking at just, you know, CARB's statewide emissions
8 standard, which is the all the districts category, or
9 are we looking at just any of the measures or rules in
10 the Bay Area or the South Coast AQMD territory.

11 We also have a building type distinguisher here,
12 which is are we looking at this -- is this assumption
13 just for new construction buildings or is it for
14 existing buildings.

15 And then, we have the AAFS scenario column to
16 let us know if this is an adoption assumption just for
17 all AAFS scenarios or just for a select few of them.

18 And we have our row headers, which are basically
19 the percentages in all the different row column headers.
20 Those are basically saying for that given year, what
21 percent of appliance replacing gas equipment are going
22 to be electric.

23 And we have that for 2020 to 2025 it's always
24 going to be zero percent. It is not -- we're not going
25 to have any adoptions starting until 2026, which is the

1 year after we expect the CARB Zero-Emission Appliance
2 Standard to be adopted by the CARB board.

3 So, looking first on what we have for new
4 construction. So, for all our districts and for all
5 AAFS scenarios, we are going to assume in our modeling
6 that for new buildings they're all going to be electric
7 starting in 2029 for commercial buildings, and they're
8 going to be all electric starting in 2026 for
9 residential new buildings.

10 Going now into our existing buildings -- oh, so
11 one more thing to note here is that the different color
12 coordination, the green colored boxes, light and dark
13 green are for gas to electric fuel substitution, and
14 then the blue ones are for propane to electric fuel
15 substitution. That's how we had to distinguish the two
16 fuel types here.

17 So, going into our next, our four dark green
18 boxes, these are looking at our adoption assumptions we
19 have for replacing burned out gas equipment with
20 electric appliances. We're looking first at our
21 assumptions for all our air districts, besides the Bay
22 Area or South Coast, and for AAFS scenario 4 through 6
23 we have electric appliance adoption rate of 20 percent
24 starting in 2026, and that's going to go up by 20
25 percent each year until we get to 100 percent in 2030.

1 And in parenthesis, we have what we assume is
2 going to be the adoption rate for AAFS, which is showing
3 it's 10 percent lower than what we have for AAFS 4 or 6
4 -- 4 through 6, sorry.

5 Next moving into our assumptions we have for the
6 local air districts. For the Bay Area AQMD, our
7 assumptions we have for just HVAC equipment is that
8 starting in 2026 we're going to have electric appliance
9 adoption rate of 25 percent. That goes up by 25 percent
10 each year until 100 percent in 2029.

11 And then, for the water heating end use, we
12 added that, so we have adoption -- an adoption rate of
13 50 percent in 2026, that jumps right up to 100 percent
14 in 2027.

15 Lastly, for the South Coast AQMD, we're looking
16 at just -- and this is for residential -- all
17 residential end uses, and this is just for AAFS scenario
18 6, our most aggressive scenario. We're going to assume
19 that for South Coast in 2026 we have an electric
20 adoption rate of 25 percent in that year, which goes up
21 to 100 percent in 2029.

22 And then finally, our last two dark blue rows,
23 which is our propane fuel substitution and that's only
24 going to be applied to AAFS scenario 5 through 6 for all
25 the districts, and looking at propane replacement of

1 existing -- sorry, replacing burned out gas equipment
2 and existing burned out propane equipment in existing
3 buildings. We're going to assume that we have an
4 electric adoption rate of 20 percent in 2026. That goes
5 up by 20 percent each year until 100 percent in 2030.

6 And then, if we're looking at all air districts,
7 propane replacement in just new construction buildings,
8 we are again going to see in 2026 all buildings are
9 going to be electric in that year, so no longer are we
10 going to have any propane equipment being installed in
11 those buildings.

12 So, this is the adoption assumptions that we're
13 going to be having in our FSSAT tool for modeling the
14 Zero-Emission Appliance Standard in our 2023 IEPR
15 forecast.

16 Next slide, please. All right, so finally here
17 we're going to look at just what our expected energy
18 impacts are going to be of our various versions of the
19 Zero-Emission Appliance Standard, which is modeled --
20 which we're modeling in FSSAT.

21 So, first looking at our gas savings from the
22 FSSAT modeling, we expect that they are going to be
23 increasing by each AAFS scenario, which means that AAFS
24 scenario 3 we have the least amount of gas savings, and
25 AAFS scenario 6 we have the most amount of gas savings.

1 However, for electricity -- so, for added
2 electricity, however, from the FSSAT modeling, those --
3 the electricity is going to be increasing differently
4 amongst each AAFS scenario. But it actually is going to
5 be increasing differently amongst the last two AAFS
6 scenarios and this is because AAFS scenario 6 is
7 assuming that we're only going to have a single best or
8 most efficient technology available to replace a gas
9 appliance in every end use. And this leads to lower
10 electricity assumption in the AAFS scenario 5, because
11 AAFS scenario 5 still has more, or like less efficient
12 appliances available to replace gas equipment, which
13 leads to those appliances adding more electricity for
14 the same amount saved than if it were a higher efficient
15 appliance. So, that leads to AAFS 6 having less
16 electricity than AAFS scenario 5.

17 So, at the end here, the major updates --

18 MR. WENDER: Can I ask about that comparison of
19 AAFS 6 and 5, There's also the South Coast AQMD change
20 affiliated with -- or difference between those two
21 scenarios. And I guess I'm curious the extent to which
22 you think the magnitude of the contribution from those
23 two different factors that would be different. And if
24 you could, think about isolating the impact of more
25 efficient technologies from the addition of the South

1 Coast AQMD regs within there.

2 MR. COOPER: Yeah. I know for the South Coast
3 AQMD, they're having a start date of 2029. So, it's
4 still pretty close to what CARB's would be, so I don't
5 think that's going to be the biggest factor. I think it
6 is just the technologies that we have available to
7 replace all those gas appliances for AAFS scenario 6.

8 So, finishing up here, so the major difference I
9 just wanted to point out again at the end is that for
10 this cycle of modeling the Zero-Emission Appliance
11 Standard, compared to what we did in 2022's IEPR update,
12 we are now, instead of including the Zero-Emission
13 Appliance Standard into a single AAFS scenario, which is
14 AAFS scenario 4, is that we applied it into multiple
15 AAFS scenarios, which is 3 through 6.

16 And then beyond that, another change we had
17 which is going to be probably affecting the electricity
18 values is that instead of what we did last year, which
19 is we had a high efficiency weighting assumption, which
20 basically let us have more priority for higher
21 efficiency appliances to replace gas stock, we're now
22 using that evenly efficiency weighting, so that way
23 everyone's getting an equal share -- or equal share of
24 the total stock being exchanged from gas to electric.

25 And then, finally, we are now making -- we made

1 changes to our assumptions for the Bay Area AQMD than
2 what we had last year, since the Bay Area last year when
3 we modeled this, for the 2022 IEPR update, still had it
4 that way in 2029. That is when all space and water
5 heaters will have the Zero-Emission Standard. But this
6 year they changed it so that there's two different dates
7 for water heating versus heating.

8 So, with that, next slide, please. All right,
9 that's the end of the presentation. Thank you all. And
10 my email and my supervisor's email, Nick Janusch, are
11 down here at the bottom of the slide.

12 And again, if you want to look at any of those
13 appendix slides I talked about on slide two, they can be
14 found after this slide.

15 VICE CHAIR GUNDA: Thank you, Ethan, really
16 helpful presentation.

17 Just a couple of quick things. So, on the
18 percentage penetration, is it correct for me to assume
19 that 100 percent of the existing stock, you know, the
20 fuel substitution will accrue in 100 percent of the
21 existing stock for the technologies you mentioned, by
22 2030.

23 MR. COOPER: Yeah, so I think what we have in
24 our in -- it's only replacing burned out gas equipment,
25 so it's not like looking any impacts of people replacing

1 their appliances early. But yeah, when we say 100
2 percent, that means all burned out gas equipment in that
3 year are going to be replaced by electric appliances
4 instead of gas.

5 VICE CHAIR GUNDA: And what is the percentage of
6 that, of the total stock?

7 MR. COOPER: I can't remember. I think that we
8 have like a factor that determines when an appliance is
9 going to burn out. So, basically, of our total stock we
10 have, we take a percentage of what we think in that year
11 is going to be available to be -- or, is going to be
12 burning out that year, and that is the gas we actually
13 apply the rates to.

14 VICE CHAIR GUNDA: I would really encourage us
15 to kind of for us to like track it in a public sphere,
16 the remaining. I think it will be helpful for context.
17 So, that's one element.

18 The second element, I definitely missed the
19 hourly load modeling, so I don't want Nick to criticize
20 me on this. But, so for specifically the load, right,
21 from these, you are backing in the full load for every
22 hour first, as you do the fuel substitution. And then,
23 to the extent that we realize load flexibility, it comes
24 later as a load modifier in the rate process. Like the
25 load modifier form the demand response and demand

1 flexibility, where do you capture that?

2 MR. COOPER: I don't think we -- I'm not exactly
3 sure for that one. I think for us, when we ever do our
4 hourly result it's just the hourly impacts of whatever
5 scenario it is. I'm not sure how we -- that plays into
6 demand flexibility or load reliability -- or load
7 flexibility, sorry.

8 VICE CHAIR GUNDA: And I had to make sure Nick
9 kind of came up then.

10 MR. FUGATE: So, just to recap from this morning
11 --

12 (Laughter)

13 MR. FUGATE: So, what Ethan and his team is
14 providing us, right, is the sort of normal profile for
15 these AAEE and AAFS impacts. Things that we are
16 thinking about in terms of the hourly load model,
17 especially around sort of the development of like
18 analysis that will support stochastic studies, right, is
19 to pay particular -- so, we can take the profiles that
20 we're receiving from the additional achievable
21 modifiers, layer them into our hourly load model
22 process, but they sort of sit there as a static profile,
23 right.

24 So, we can introduce variations through, you
25 know, bringing in the climate data into our hourly

1 modeling process, but it doesn't sort of capture kind of
2 the incremental variation that would exist around these
3 other load modifiers.

4 So, that is something that we don't have a fully
5 fleshed out answer for yet, but it is sort of a priority
6 question for us, especially around fuel substitution
7 impacts because they add so much load to the winter
8 months. And we're bringing in this climate data that is
9 showing, you know, a lot of change in temperatures in
10 the winter months, so we want to be able to make sure
11 that we're, you know, really capturing the full range of
12 uncertainty that we can expect in those periods.

13 VICE CHAIR GUNDA: Yeah, thanks. I like this
14 panel. It is the one piece of data, like when you get
15 the profiles, the static profiles, right, are the static
16 profiles taking into account I guess the question the
17 ability to load modify, or is it -- so, from the rates
18 or is it coming later, or somewhere else.

19 Right, so I have a new air conditioning or
20 forced space heating, like let's just do water heating.
21 Water heating, and I'm going to add a new load onto the
22 system that reduces my gas load. The new load on the
23 system, per the hourly profile, how are we -- like where
24 are we starting? And to the extent that there's going
25 to be a rate design, like CalFUSE or others, where do we

1 capture the effects of CalFUSE, for example?

2 MR. FUGATE: So, I'm not sure that, you know,
3 maybe I'm not quite understanding the question. So,
4 like right now presently the only sort of rate impacts
5 that we have been embedding in the hourly forecast
6 process are from, so the default rollout of time-of-use
7 rates. And so, in that context that sort of comes at
8 the end. We have tried to, you know, sort estimate what
9 impacts, you know, what rate impacts would be. And
10 then, sort of align those, you know, looking at the sort
11 of system load profile from the hourly modeling process
12 align, you know, sort of the greatest impacts with sort
13 of the high load days. So, that's kind of done at the
14 end of the process. I'm not sure if I'm getting at your
15 question.

16 VICE CHAIR GUNDA: Yeah, absolutely. So, just
17 kind of making sure, when we think about fuel
18 substitution, right, it is not managed. The load is not
19 managed at the beginning. And then, that is tackled at
20 the time-of-use, or I mean like when we actually think
21 about what load profile you could actually have. So,
22 that's similar to like what we do in transportation.
23 Yeah, okay, thank you.

24 MR. WENDER: Actually, I have a kind of parallel
25 question, except of instead of thinking about temporal

1 granularity and response, this one's about spatial
2 granularity within the forecast.

3 So, understand some of these modifiers or some
4 of the factors in these scenarios are pretty localized.
5 So, you know, Bay Area, South Coast District. When
6 within the forecast process and how do loads within or
7 resulting from those factors get allocated to those
8 specific regions. And I guess thinking kind of, of the
9 use of these scenarios, of the forecast at large in
10 distribution planning where they would want to, you
11 know, know that these loads are coming onto their
12 systems. Is that in later steps or accounted for here?

13 MR. COOPER: So, when we do our adoption rates
14 and apply those to the different areas, we have to do
15 that by building climate zone, because that's the best
16 granularity that we have in the tool. And our annual
17 and hourly tools go out to IOU territory, I think -- or
18 not IOU. They just go to, I think, planning areas.
19 That's how we're able to -- that's as granular as we can
20 go get for the hourly outputs.

21 The annual can be by planning area, forecast
22 zone, from like 0 to 20, and then by building climate
23 zone. So, we can go give annual outputs by the building
24 climate zones, and chooses one we think would be
25 inclusive of the Bay Area, Air Resources, or South

1 Coast. But for hourly, we can only get up to planning
2 area level.

3 VICE CHAIR GUNDA: And maybe you want to just
4 expand on the next step, so the busbar mapping and how
5 that is allocated, maybe that's helpful.

6 MR. COOPER: Yeah, so I think with that we do
7 work with the IOUs to try to go find out where any of
8 their busses are, and then we try to go from that,
9 distinguish what would load be for each sector, for like
10 their peak day. And then, determine for each -- well,
11 basically, we take out our planning area hourly results
12 for AAEE and AAFS, and then try to go put those on to
13 each utility, and to go basically to make shares.
14 Sometimes utilities you see, okay, how would the share
15 be for all the entire -- all busses there, how would the
16 shares for each sector be. And then, take those shares
17 of like the load and see like, okay, for PG&E we have X
18 percentage of the load going to this bus, and then X
19 percentage going to the bus, all the way down to all the
20 busses they have for that utility. And then, apply that
21 to the correct planning area that we pull out of our
22 AAEE or AAFS results. That's how we kind of go get the
23 load bus analysis for the three IOUs.

24 The POUs are a little bit different. They're, I
25 guess, not as -- I guess they're not really created with

1 like load data that's really I think peak data. I think
2 it's more of a proposed load from I think CAISO's TPP
3 process. So, we kind of do that to then to take all of
4 our POU planning areas, and then apply those to the
5 POU's.

6 VICE CHAIR GUNDA: Yeah, thank you, Ethan. Just
7 I think this is the first time I'm kind of having the
8 pleasure of hearing from you. So, thank you, that's a
9 really good presentation.

10 MR. COOPER: You're welcome. Thank you.

11 MR. GEE: Great. Thanks. Now, we can open it
12 up or we have a short session here open for any
13 questions from members of the public or folks on the
14 Zoom call, and the Q&A box. Currently, we don't see any
15 questions in the Q&A box, so I think we can go ahead and
16 continue to move forward here.

17 Thank you very much Ethan and Ingrid.

18 We're going to turn a little bit on topics over
19 to the transportation forecast. The baseline
20 transportation forecast is a really popular topic
21 sometimes, and so there's a lot to discuss today.

22 We have three of our in-house experts here to
23 talk a little bit about some key trends that we're
24 noticing in the market, what's going on with the light-
25 duty forecast, and then the medium- and heavy-duty

1 forecast. And I'll be able to also participate a little
2 bit here and there if there are some questions
3 pertaining to other issues around the forecast.

4 But first, we will go ahead and get started with
5 Jesse Gage. Jesse is the Lead DMV Analyst in the
6 Advanced Electrification Analysis Branch. Jesse, why
7 don't you take it away.

8 MR. GAGE: Thank you, Quentin. Good afternoon.
9 I am indeed Jesse Gage with the Transportation Energy
10 Forecasting Unit. I'm here today to discuss the present
11 state of zero emission vehicles as captured by ZEV
12 stats, our dashboard for tracking sales, population, and
13 other ZEV statistics.

14 I will also discuss some of our forecast inputs
15 as they pertain to hydrogen in particular because, well,
16 we'll talk about hydrogen. Next slide, please.

17 It is hard to underestimate the importance Tesla
18 Models 3 and Y have had on the ZEV market. Since the
19 Model 3's introduction in mid-2017, and the Model Y in
20 2020, the two have consistently sold as many as the rest
21 of the ZEV market combined, a trend which has continued
22 to this day despite neither model having seen a
23 significant redesign.

24 After a strong 2022, in which 346,000 ZEVs were
25 sold, this year sales are estimated to come within a

1 hair's breadth of a cool half million. Next slide,
2 please.

3 Not surprisingly, the increase in ZEV sales has
4 led to a corresponding increase in their share of the
5 overall light-duty fleet. As the Chair, the Governor's
6 Office, and others have noted over the past month, we
7 hit a landmark in that one in four light-duty vehicles
8 last quarter were at least partially electric.

9 I've already mentioned the Teslas, comprising
10 the majority of full electrics. As for PHEVs, plug-in
11 hybrids, the Jeep Wrangler currently holds the top spot
12 this year, selling more than twice as many as second
13 place, the Toyota RAV 4 Prime.

14 Overall, fully electrics comprise 85 percent of
15 the ZEV market. PHEVs take 14 percent, and hydrogen,
16 well, we'll talk -- we'll talk about hydrogen.

17 Next slide, please. So, where does this leave
18 us in absolute terms? California finished 2022 with the
19 ZEV fleet over a million strong. That's impressive.
20 It's a big milestone. This year we estimate that we
21 will tack on another 400,000, bringing us to more than a
22 million and a half ZEVs on the road by year's end.

23 Note that this is currently registered on-the-
24 road vehicle population and not cumulative sales, which
25 I think stands at about 1.6 million as of June, and

1 might hit about 1.8 by year's end.

2 Next slide, please. Part of the reason ZEVs are
3 taking off in the state is that manufacturers are now,
4 finally, giving consumers what they actually want. And
5 what they want are SUVs, particularly compacts and
6 crossovers, which are red hot right now, regardless of
7 fuel type. If you want to get away from gasoline there
8 are now, by my count, a full 26 compact and crossover
9 SUV models to choose from including BMW's X5 PHEV,
10 Hyundai's, Ionic 5 BEV, and of course the Model Y.

11 In these two charts we see on the left the sales
12 of ZEVs by market segment, and likewise for the whole
13 fleet on the right. And you can see that after a decade
14 of the ZEV market being tilted toward sedans, likely due
15 to battery constraints, as of 2022 the mix of cars and
16 SUVs was just about equal in the ZEV and non-ZEV worlds,
17 although ZEV pickups still do have a bit of catching up
18 to do.

19 This concludes my look at the current state of
20 the BEV and the ZEV markets, with assistance, as always,
21 from Elizabeth Pham who runs the dashboard itself, and
22 the DMV Vehicle Registration database which is the
23 ultimate source of this data.

24 Now, as promised, we can discuss the state of
25 hydrogen. And at the present moment you've probably

1 guessed that, yeah, it's not great.

2 Next slide, please. At the August 9th business
3 meeting it was reported that Shell had planned on
4 backing out of an agreement to build numerous hydrogen
5 refueling stations in California.

6 Vice Chair Gunda responded by asking,
7 rhetorically, how this would impact the inputs to our
8 hydrogen forecasts, time to station, refueling time, and
9 so forth.

10 I've mentioned in other workshops that I lease a
11 Hyundai NEXO. You can see the side of it on this slide,
12 here. I'm two years into my lease and I can say I still
13 love the car. I love the quiet ride that comes with not
14 having an engine. It starts up right away. No oil to
15 change. Really, no maintenance at all, really, except
16 for the tires. And it's fun to drive. I mean I love
17 taking it up to Placerville. I've taken it down to
18 Monterey a couple of times. You name it. I wish the
19 dog would keep it cleaner, but that's my own cross to
20 bear.

21 But the first thing anyone ever says to me when
22 they see the words printed on here is, without fail,
23 where do you fill it up? On a good day, I can say that
24 there's a station two miles away from me, so I just stop
25 by on the way home from grocery shopping, easy-peasy.

1 But the past two weeks in particular have not
2 been good days. And it's made this question
3 increasingly uncomfortable to answer.

4 And so, I want to give you a personal account, a
5 response to this question and how it impacts me, and
6 other fuel cell vehicle drivers, with an eye, of course,
7 towards inputs to our forecast.

8 Next slide, please. I figured I'd start with
9 what gasoline users may think is the most important
10 aspect of hydrogen but for lessors, like myself, and new
11 buyers it's actually the least important for now, at any
12 rate.

13 About a week after I signed the lease, I took it
14 in for its first fill up at the Shell Station on Fair
15 Oaks Boulevard. You can see on the left side, the top
16 left there that the posted price of hydrogen at the time
17 was \$16.45 per kilogram. That price stuck for well over
18 a year. Not just at the Fair Oaks station, but at every
19 station I've seen in Sacramento, and the Bay Area.

20 Last October, however, Iwatani, who runs the
21 West Sacramento station, posted a note to SOSS, the
22 station-tracking web app set up by the Hydrogen Fuel
23 Cell Partnership. It warned that the price per kilogram
24 would increase to \$24.99 due to a downturn in the LCFS
25 credit market. Shell Hydrogen followed suit in January.

1 The photo on the right shows my most recent fill
2 up on July 30th, also at Fair Oaks. By this time the
3 price had risen to nearly \$30 per kilogram, almost
4 double what it was two years prior.

5 Now, neither \$16.45, nor \$29.95, that's not what
6 I pay. That's not what new FCEV owners would pay. In
7 reality, we pay nothing. You see, when you sign off on
8 the purchase of a lease of a new Mirai or NEXO, you are
9 issued.. let me cover up the numbers - this card. It
10 serves to provide complimentary hydrogen for three
11 years, the life of a lease, or \$15,000, whichever comes
12 first.

13 Now, my NEXO gets about 60 miles per kilogram.
14 And if you do the math, at \$16.45 per kilogram, \$15,000
15 will get you some 55,000 miles, or more than 18,000
16 miles per year. And that's a lot. I mean unless you're
17 driving it for Uber or something, that's easily enough
18 for just about any purpose.

19 And for me, I mean it turns the posted price
20 into basically kind of a bit of trivia.

21 But at \$29.95 per kilogram, now that's only
22 10,000 miles per year. And that means depending on
23 driving habits, and what happens with LCFS credits, a
24 lessor today could be in for an especially rude surprise
25 toward the tail end of the lease.

1 Before I go on, I do want to apologize for the
2 dark -- I know the dark photo in there is kind of dark.
3 I wanted to go back and get a better picture. I
4 couldn't, unfortunately, because -- well, next slide,
5 please -- the station is down. Along with Citrus
6 Heights, and three other Northern California hydrogen
7 stations, indefinitely.

8 Per this email, sent to my personal inbox last
9 week, during that business meeting oddly enough. Indeed
10 the only Shell station now operating is their most
11 recent one in San Jose.

12 Now, this is frustrating. But even before this
13 outage both Sacramento stations have had extended
14 downtimes in the past year. Fair Oaks was down from
15 last August until about March, and even then was touch
16 and go until mid-May. Citrus Heights shut down last
17 December through June, and didn't have its legs under it
18 until just a couple weeks ago.

19 This leaves West Sacramento as the only
20 operating station in the area, except they shut down
21 yesterday due to supply. They're not coming back until
22 tomorrow.

23 That means if I had to fill up tonight, the
24 closest place is Concord, a three-hour roundtrip, even
25 without rush hour.

1 Not to be outdone, True Zero had to shut down
2 ten of its Southern California stations this week due to
3 a major supply disruption. Thankfully, four of their
4 stations have since come back on, on an emergency basis.
5 But those emergency measures have pushed the price up to
6 a full \$34.84.

7 These intermittent, seemly random closures, have
8 had three knock-on effects. First, as this slide says,
9 it takes longer to get to a station that actually works.

10 Second is an indirect impact on the effect of
11 vehicle range, because while I can get 380 miles on a
12 good fill up, I now have to mentally budget an emergency
13 reserve in case I'm forced to drive to the Bay Area just
14 to refill.

15 Third, these closures put pressure on nearby
16 stations, which leads to, next slide please, some
17 absolutely jaw-dropping lines at those stations that do
18 remain open.

19 You can see here on the right a driver report
20 stating that at 10:00 p.m. Tuesday, the West Sacramento
21 station had 22 cars waiting to fill up. Now, that's
22 bad. But just as scary is the warning on the left. You
23 have to wait ten minutes between filling at this
24 station, and there is only one pump that has ever worked
25 as far as I know.

1 So, given that it takes five minutes to fill,
2 several more minutes for the driver to leave, and the
3 next driver to handle the point of sale ritual, in
4 reality this station can only service four, maybe five
5 cars in an hour.

6 Now, I will admit, I'm being a little hard on
7 poor West Sac here. I understand they were the first
8 retail station to open in the state, so lessons learned
9 building this one have hopefully carried over to other
10 stations. I haven't seen that 10-minute wait in any
11 other ones. One of them had a five. But this one is
12 the only one that said ten.

13 And I'll caveat, I'm not really sure I buy 22
14 cars in line here. I mean there's a lot of room at that
15 station, but not that much. And reports are user
16 submitted, so I kind of wonder if somebody was just
17 venting their frustration here.

18 That said, I will note that I did find myself
19 13th in line last December, and I clocked that wait in at
20 four hours even.

21 Next slide, please. So, I've discussed how the
22 LCFS market has impacted the price of hydrogen. And
23 I've also given a personal account of how a supply
24 crunch, such as today's, impacts my personal driving
25 time to a station, refueling time, and indirectly

1 vehicle range.

2 So, the question now is where does this leave us
3 in terms of the forecast? Nowhere good, that's for
4 sure. But I am aware that this workshop comes at a
5 particularly unfortunate time in hydrogen's journey,
6 with outages coming from multiple fronts.

7 I also know that anecdotes, by themselves, are
8 not data. And those of us in Sacramento are harder hit
9 than most during shortages, because we're a bit of an
10 island on the station map. There's only three stations
11 here. And only 5 percent of FCEVs are located in the
12 area.

13 But I'll note that this is the third major
14 disruption I have experienced in two years. And during
15 each of the last two, I eventually ended up having to
16 take the drive of shame to Concord, and I suspect I'll
17 be doing it again tonight or tomorrow, depending on how
18 West Sac is doing.

19 I've also seen station maps this week, with
20 every station north of San Jose out. Everything from
21 LAX to Disneyland out. So, I know disruptions on a
22 regional scale are still possible statewide.

23 As Vice Chair Gunda suggested last week, I look
24 forward to talking with our good colleagues in FTD about
25 the impact Shell's decision will make. How upcoming

1 grants from us or the Department of Energy can mitigate
2 the damage. And any insight regarding the current
3 crisis which, hopefully, will recede by the time the
4 forecast is out the door.

5 The present state of hydrogen may not be great,
6 but I don't think its future is unsalvageable. And I
7 look forward to more good days in the future.

8 And that's all I've got. On behalf of nearly
9 12,000 Californians who have adopted fuel cell vehicles,
10 I'd like to thank you for your time. Commissioners,
11 please forgive me. And I'll take your questions at this
12 time.

13 MR. GEE: Great. Thanks Jesse. Actually, I
14 think what we'll do is we'll get all the -- unless, are
15 there some -- okay, yeah, we'll take all the
16 transportation folks and then we'll have, I think, a
17 really healthy back and forth amongst lots of different
18 topics.

19 So, the next up is Aniss Bahreinian, PhD. She
20 is the Lead Transportation Forecaster in the Advanced
21 Electrification Analysis Branch, here to talk today
22 about the light-duty forecast inputs assumptions and
23 scenarios. Annis.

24 MS. BAHREINIAN: Good afternoon Commissioners
25 and stakeholders. I'm here today to talk about the

1 light-duty vehicles, the vehicle forecast. And,
2 specifically talking about the inputs and assumptions,
3 because we don't have a forecast, obviously, right now.
4 And so, we are going to talk about the inputs, and
5 assumptions, and the trends that we see in the market.

6 Next, please. What I would like to do is first
7 talk about the forecast and scenarios in general. And
8 there are two types of future paths that we see for
9 light-duty vehicles.

10 First one is what we refer to as a forecast, or
11 more precisely baseline demand forecast. And it is
12 based on all of the baseline input forecasts.

13 What are these input forecasts? We use economic
14 and demographic variables. We have vehicle attributes
15 that we use in generating a forecast. We have fuel
16 price forecast that we use for our forecast. And we
17 have incentives, government incentives that we use.

18 And we separate the impact of incentives from
19 the vehicle prices because we believe that consumers
20 respond differently to an incentive versus price, versus
21 some of the other forecasts that just simply reduce the
22 amount of price by the amount of incentive.

23 To be sure, and to be more precise we have
24 separate impacts from these two variables.

25 The second future path that we have is what we

1 refer to as AATE scenario. AATE stands for additional
2 achievable transportation electrification. For this
3 AATE scenario, the fleet population is exactly the same
4 as the baseline forecast. So, the two lines are going
5 to be one in the same. It uses the baseline forecast
6 for total fleet population.

7 However, when it comes to the fleet composition,
8 which is the class and fuel type composition of the
9 fleet, what AAET scenario does, it assumes that the
10 market shares that have been projected by CARB, by Air
11 Resources Board through their ACC2 program, which is
12 Advanced Clean Car 2 program, is exactly the same as the
13 market share that we have for ZEV in our forecast.

14 So, that is essentially the difference between
15 the AATE scenario and the baseline forecast. It makes
16 the assumption that ACC2 market shares apply to our
17 forecast for ZEV.

18 Both forecast and scenarios assume the same
19 vehicle miles traveled. And that's important. From the
20 beginning, one thing that we have done is we are
21 assuming that all of the fuel types, regardless of the
22 fuel types, all of the vehicles are going to have the
23 same VMT per vehicle.

24 Why do we do that? Essentially, because our
25 forecast is a long-term forecast and in the long-term

1 ZEVs cannot really stay in the market if they cannot
2 drive the same number of miles. And we have overlooked
3 some of the initial low VMT that we have seen for EVs,
4 and we have been assuming that they are driving the same
5 number of miles as all the other vehicles.

6 Vehicle population, fuel economy, and VMT
7 determine the transportation fuel demand. So, all of
8 those are important for our energy demand forecast. And
9 including transportation electricity.

10 Next, please. What are the key inputs for the
11 baseline light-duty vehicle forecast? Well, if we
12 divide it into two components, our forecast is
13 generating a forecast of LDV population, as well as the
14 LDV fleet composition, which is both class and fuel
15 type.

16 For the LDV population, the key drivers are
17 household population and income. Those two are the ones
18 that determine how many vehicles we are going to have in
19 the state in 2030, or in 2040, or 2050.

20 For residential light-duty vehicles, the macro
21 economic variable that we use in the forecast is
22 personal income. That's what we use. And what personal
23 income means is that we're going to include all of the
24 incomes that are received. And the incomes that are
25 received includes all the incentives or all the

1 assistance that all of us were given during the COVID
2 time. So, the personal income actually in those times
3 has gone up because of those assistance, and those are
4 the numbers that we're including because you can use
5 that money, for instance, to buy a vehicle. And that's
6 why we use personal income.

7 When it comes to commercial light-duty vehicles,
8 what is driving the population of the commercial light-
9 duty vehicles is the gross state product, or GSP.
10 That's what we use for commercial vehicles.

11 When it comes to light-duty fleet composition,
12 which we also forecast, it's part of our forecast, we
13 are using vehicle attributes. And the vehicle
14 attributes include the vehicle price, MPG, range, cost
15 per mile, and acceleration, and other factors that we
16 are including.

17 In addition to that, we are also including
18 incentive. But more specifically, we are only including
19 state and federal incentives. So, we are not including
20 the local incentives. That is a shortfall of our
21 forecast.

22 Next, please. Now, we have about -- we generate
23 the forecast of light-duty vehicle for the residential
24 sector for about 500 different household types. Where
25 do we get these 500 household types? Well, when you're

1 including different income categories, different
2 household sizes, different vehicle ownership, and
3 different number of workers in the family you're going
4 to end up with about 500 different household types,
5 which is what we are forecasting for.

6 Now, all of this data, for all of this data we
7 are using American Community Survey. That's the only
8 place where we can find this data. Department of
9 Finance cannot provide us with that information and
10 neither do any other sources. So, we are using American
11 Community Survey to identify all of the households that
12 are in different household types that we have in our
13 forecast, and we are accounting for the exact number of
14 those in the base years.

15 So, we use ACS for the base year and we are
16 dividing all of the households in different categories.

17 Now, one of these is, well, how many households
18 have how many cars? And that is our graph here, which
19 is the number of vehicles in households and that, too,
20 is coming from 2021 ACS, American Community Survey.

21 We can see here, for instance, and this is
22 important, you can see that almost 7 percent of
23 households have no car. So, if you're talking about the
24 ZEV vehicles, we need to keep in mind that 7 percent of
25 the households have no cars. And in the next graph

1 you're going to see the relationship between that and
2 income.

3 The most dominant category is the two-car
4 households. They are the biggest portion of the
5 households in California. And it is followed by the
6 one-car households. And, of course, those households
7 that have three or more vehicles are only 26 percent of
8 the California households.

9 This is important for us because over time we
10 have noticed that those who are buying ZEV vehicles are
11 the ones that have more than one car. So, that becomes
12 important for us. And, therefore, we are going to have
13 to separate households based on the number of vehicles
14 that they own. It is different, their preferences for
15 ZEV are different depending on whether they have one
16 vehicle, two vehicles, or three vehicles.

17 Next slide, please. All right, this I have --
18 we have used the income categories that we are using in
19 our model. This is important. So, please do not derive
20 any conclusions about income distribution in California
21 based on the graph at the bottom.

22 If you look at the graph at the bottom, we have
23 the first two income categories that we have, they have
24 a \$10,000 interval.

25 The next ones that you see over there, until

1 they reach the income of \$100,000, the income interval
2 for those is only \$20,000. Between \$100,000 and
3 \$250,000 the income intervals are \$50,000.

4 So, I'm just alerting you, do not derive any
5 conclusion about income distribution for the State of
6 California based on this graph. The only reason why we
7 have those categories is that our model is using those
8 categories.

9 Why do we even use income in our model? The
10 reason is that consumers have higher price sensitivity
11 at the lower income brackets. A thousand dollars means
12 a lot more to somebody who is making only \$10,000 a year
13 compared to somebody who is making \$250,000.

14 And so, we are going to have to include income
15 so that we get the right price elasticity, the right
16 price response by different income groups. If
17 California population grows poorer over time, what that
18 means is that they are not going to be as able to
19 purchase vehicles, new vehicles in the future. So, that
20 is going to matter to us and that's why we are including
21 the income categories.

22 If you look at the graph on the top, what you
23 can see is the number of vehicles that each household
24 has in each income category. As you can clearly see,
25 the first two income categories, which are the lowest

1 income categories, you would see the larger share of the
2 no-vehicle household. Not only that, when it comes to
3 buying vehicles, those households that are at the bottom
4 of the list when it comes to income distribution, they
5 usually buy used vehicles, not new vehicles. That is
6 significant for the sales of ZEVs, because ZEVs are
7 mostly new, have been mostly new vehicles. And,
8 therefore, the worse is this income distribution, the
9 worse it's going to get for the ZEV sales.

10 However, now, over time, over the last decade we
11 have also generated a number of used ZEVs. And so,
12 those households can purchase the used ZEVs. But in the
13 beginning we didn't have any. And so, the only ones
14 that would really qualify are the households that are at
15 the higher end of the income distribution.

16 So, this one, you could see that the reverse is
17 true for the three-plus vehicle households. You can see
18 that at the higher income categories, the lowest -- if
19 you focus on the zero-vehicle households, the lowest
20 numbers are in the \$250,000 income category. So, the
21 relationship between the number of vehicles and income
22 reversed at the top end of the income distribution.

23 Next, please. All right, so we talked about the
24 household population in California and this graph shows
25 household population from 2020 through 2040.

1 We have seen, for instance, all the news about
2 migration of -- domestic out migration of population
3 from the State of California. And in the graph that --
4 in the historical data graph that Nick Fugate showed on
5 August 15, I think, in that graph you could clearly see
6 that there's a decline in population. So, it shows that
7 out migration.

8 This graph, however, this is the number of
9 households that we have in the State of California.
10 This graph doesn't really clearly show that decline. It
11 shows, instead, that between 2023 and 2040 we have 1.4
12 million additional households. So, the number of
13 households is growing.

14 As Nick explained on August 15, the way we have
15 derived this is that he has -- we have used the
16 population forecast that was developed by Department of
17 Finance in July, I believe, so it was very recent. They
18 don't have a household population forecast, yet. So,
19 what has happened is that we have taken the household
20 size forecast from the 2022 IEPR and applied that to the
21 population forecast in 2023. So, you don't see some of
22 those bumps here.

23 But over time what you can see clearly is that
24 household population is growing in California, and it
25 grows by 1.4 million between 2023 and 2040.

1 Yes?

2 VICE CHAIR GUNDA: Aniss, just on this one,
3 thank you for raising that question. I was kind of
4 thinking it. So, like the previous slide, which kind of
5 shows the ownership, you know, this is kind of the
6 household distribution, you know.

7 MS. BAHREINIAN: Uh-hum.

8 VICE CHAIR GUNDA: So, as you move forward, as
9 the households grow, I understand the assumption right
10 now we are leaving the number in the household the same.
11 Do we have the ability to understand, you know, as you
12 have more houses, you know, potentially lower number of
13 households in the future as the out migration happens,
14 what that effect would be for the new vehicles sold in
15 California?

16 MS. BAHREINIAN: We can -- we can definitely, if
17 we have more insight into how exactly that is going to
18 happen, we can make adjustments.

19 But as of now what we are doing, we are taking
20 the 2021 ACS and we are just applying the household
21 population growth to those categories that we already
22 have.

23 So, what we have is for 2021 we have the actual
24 numbers. Those are the exact distribution of households
25 in the State of California. But when it gets to the

1 forecast all we have to do, or all we can do because
2 nobody really has the detailed data that we need, is
3 apply the growth in population, household population to
4 our 2021 base year that we have. That's how we use it.

5 VICE CHAIR GUNDA: Right.

6 MS. BAHREINIAN: So, we are kind of applying the
7 same rate to all of the households.

8 VICE CHAIR GUNDA: Yeah, just kind of maybe we
9 can keep going with the presentation, but I'll just have
10 a couple more questions on that.

11 MS. BAHREINIAN: Sure.

12 VICE CHAIR GUNDA: So, presumably, I mean there
13 is a correlation between the actual demographic, like
14 age distribution of Californians and, you know, how many
15 vehicles we buy, and how does that compute into our
16 overall modeling.

17 And the other one, on the VMT, you know, we said
18 we're going to hold the VMT consistent given that CARB's
19 kind of pushing, you know, through the scoping plan and
20 others, you know, the deduction in VMT.

21 How do we -- you know, how are we thinking about
22 continuing to put those in different variables into our
23 modeling and to what extent, you know, those have huge
24 differences and what time frame, right. So, I think for
25 me, I'm kind of thinking through, completely recognizing

1 that we have great impacts on consumers and we don't
2 want to, you know, over procure. But at the end of the
3 day, you know, we want to have the ability to project
4 the uncertainties and be able to guard, you know, enough
5 cushion for resource procurement, right.

6 So, I'm thinking through that and pretty much
7 all my questions, given the last couple of years, has
8 been like how do we keep the system reliable and how far
9 in advance do we bake in these electrification
10 uncertainties, and how, so we can really kind of guard
11 the system from reliability issues.

12 So, just want to pin those questions as you
13 continue your presentation, and if you have an organic
14 moment just drop in.

15 MS. BAHREINIAN: Sure. One thing that I can
16 directly respond is that we do not account for age. And
17 we all know that age matters to the number of vehicles
18 that people hold. But, hopefully, when we are looking
19 at the income categories, and the age kind of falls into
20 that. Some of those lower incomes are the older, more
21 senior population. Some are on the other hand, right,
22 they are in the 250 plus income category.

23 But we do not specifically address age. And the
24 reason for it is that remember I said we have 500
25 different household types? If we incorporate age into

1 that, it's going to go over 1,000, 2,000, 3,000
2 different household types. Because we also, I
3 personally have been interested for instance on how
4 women buy differently when it comes to the vehicles,
5 compared to men. But we can't incorporate all of these
6 factors that could actually play a role in.

7 So, it is just our computational capacity
8 doesn't take us there. Otherwise, you're absolutely
9 right.

10 VICE CHAIR GUNDA: Yeah, I think on that one you
11 know, know that we have, if I remember it right,
12 Southern California Edison's model is more like a
13 diffusion model versus our model.

14 MS. BAHREINIAN: Uh-hum, yes.

15 VICE CHAIR GUNDA: Are there opportunities for
16 just kind of comparing the differences and how big the
17 different could be, totally understand that, you know,
18 in some sense you are -- I mean it's about where do you
19 want to use your computational might. And, you know,
20 depending on the different models having just kind of
21 that background on the potential uncertainty in the
22 forecasting.

23 At the end, if we are going to look back at the
24 scoping plan and we're going to say we're just going to
25 use the AATE for planning, I think that safeguard us

1 largely.

2 But just wanted to kind of continue to put it in
3 the public discourse, you know, what are those doubts
4 and what are the uncertainties as we move forward.

5 Thank you.

6 MS. BAHREINIAN: Yeah. As you recall,
7 Commissioner, in 2017, since 2017 actually, one of the
8 things that we did was we developed five different
9 scenarios for light-duty vehicles. And those different
10 scenarios that we had for light-duty vehicles for the
11 forecast, they were reflecting the uncertainties in the
12 economic conditions, as well as technology conditions.

13 But since last year, we are only generating one
14 baseline forecast and then plus the AATE scenario. If
15 there is interest in generating more forecasts, we would
16 be happy to do so in future years. And we will also be
17 happy to make comparison with Southern California Edison
18 and compare the forecast, and see where they are and
19 where we are. Absolutely. That would be a great idea,
20 thank you.

21 MR. GEE: Vice Chair, just a real quick response
22 to something you pointed out. You mentioned the CARB
23 VMT reduction cases, or reduction goals under the AB 32
24 scoping plan, under the 2022 AB 32 scoping plan.

25 We are in the process of developing new travel

1 models that will allow sensitivity for VMT. I think
2 what we'd be talking about overall is sort of a net
3 reduction in VMT. So, maybe fewer people are driving
4 overall. I do think that maybe we would have an AATE
5 scenario, we could have an AATE scenario that does
6 something where the VMT itself is the variable that
7 changes.

8 But generally speaking, we want the VMT to be
9 consistent across the scenarios so that we're evaluating
10 the electrification, the impact of electrification. But
11 definitely something that we want to consider in the
12 future. And I think these new travel models that are in
13 development, looking forward to presenting those to you
14 and to the Commission later.

15 MR. GEE: Aniss, was there anything -- oh, okay.
16 Yeah.

17 MR. WENDER: Maybe I'll ask, then, about these
18 new travel models that are upcoming and to be included.
19 Will they have other modes of mobility, small distance
20 travel, and a better breakdown of the types of trips
21 that drivers, customers, residents take?

22 MR. GEE: Yeah, there's a lot. I think Aniss
23 might be able to speak to some of that. I mean I know
24 that she's interested in the autonomous vehicles. We
25 are talking about micro mobility, other sorts of

1 options. Yeah, so definitely a lot of different ways
2 for us to think about the changing world of travel. Our
3 models, travel models up to now are a little bit more
4 static, yeah.

5 VICE CHAIR GUNDA: Okay, I was going to hold
6 back, but I want to just state this, too. I think,
7 Aniss, like going back two or three years, you know,
8 especially the forecasting team was under a lot of
9 pressure to adequately capture the electrification,
10 right.

11 MS. BAHREINIAN: Uh-hum.

12 VICE CHAIR GUNDA: And kind of like say, let's
13 say kind of look at the higher levels of consumption, so
14 we can plan the grid.

15 I think now another wrench has been thrown at
16 the team, which is you want to do that, but you want to
17 be able to estimate the gasoline consumption
18 appropriately for the SBX 12 work, you know. So, I
19 think you're now kind of stretching -- you know, the way
20 I always think of it is like, you know, you're turning a
21 corner and the lanes have to be the widest. You know,
22 and then we'll kind of -- once we hit kind of our next
23 quasi-equilibrium I think we'll be looking for
24 efficiencies.

25 But I would really recommend thinking about our

1 forecasting as more of a, you know, bookending the worst
2 case scenarios on all ends, right, so that we can really
3 plan for those things.

4 Again, I understand that we want to be
5 reasonable to occur and we want to be thinking through,
6 you know, the rate impacts, and other impacts that could
7 potentially come from the forecasting. But to the
8 extent that we have flexibility, I would generally
9 recommend being on the outer edge of planning these
10 things as we go through the transition. Thanks.

11 MS. BAHREINIAN: Thank you. One thing that I
12 can add, when you're asking about mode, transportation
13 mode, for the new travel demand model we have -- one of
14 the additions is autonomous vehicles. And as you know,
15 we are planning a new survey, which was just approved by
16 DGS yesterday. And as part of this new survey we are
17 incorporating autonomous vehicles on a personal level,
18 not just at the TNC, but on personal ownership level.
19 We are going to incorporate that into our light-duty
20 vehicle demand forecast, hopefully.

21 And in addition -- and that comes on our part,
22 under light-duty vehicle choice model. But then, when
23 it comes to the travel demand model, so we are
24 foreseeing that autonomous vehicles are going to get
25 into our LDV demand forecast, which is used by travel

1 demand models. And, therefore, the travel demand models
2 are also going to incorporate a separate set of VMTs for
3 autonomous vehicles.

4 In addition to that, we are also identifying a
5 separate mode for TNCs, so that one is also incorporated
6 into the new travel demand model.

7 But in response to Commissioner Gunda's comments
8 regarding CARB's VMT reduction plan, one of the features
9 of the new models is that the new travel demand models
10 are pretty much following the CARB's EMFAC model. So,
11 to the extent that CARB is going to reflect that in
12 their model, it's also going to be reflected in ours.
13 So, regarding your comment on how we're going to deal
14 with that, that's going to come next year. But for this
15 year, we are going to continue to use the existing
16 travel demand models that we have.

17 Next, please. All right, and how about personal
18 income. Personal income, as you can see with the -- I
19 said that personal income includes -- first of all, this
20 is aggregate personal income, not per household. And
21 you can see the numbers are in trillions.

22 VICE CHAIR GUNDA: Yeah, it was not being
23 reflective of my income. I was like what is going on.

24 (Laughter)

25 MS. BAHREINIAN: What you can see here is that

1 there has been a decline between 2021 and 2022. And it
2 goes back to all those assistance that was given during
3 the COVID. When they dry out, their personal income is
4 also going to go down.

5 But between 2023 and 2040, as you can see
6 aggregate personal income in California is also growing
7 by \$1.4 trillion. This is, of course, Moody's forecast
8 and that is what we are going to use. So, all those
9 households, with all the incomes that they have we are
10 also growing our household income by the percentage
11 growth that we could see in the macroeconomic forecast.

12 Next, please. All right, so here we come with
13 the vehicle attributes and we are going into the fleet
14 composition. To the fleet composition, -- it is the
15 vehicle attributes and the incentives that matter.

16 So, the household population determines total
17 vehicle population, but vehicle attributes determine, or
18 are the key drivers of the fleet composition,
19 particularly by fuel and class size.

20 Attributes include -- what are these attributes?
21 We keep talking about vehicle attributes, what are they?
22 They are price, fuel economy, acceleration, etc. We
23 always leave some of them out. It is range, for
24 instance, that has been left out here, maintenance costs
25 and the fuel cost per mile.

1 So, fuel price directly doesn't enter into the
2 vehicle choice model, but it does enter through cost per
3 mile, which is a combination of MPG, or the fuel
4 economy, and fuel price forecast that we have.

5 While all of the attributes have significant
6 impact on -- when we are running these models they are
7 significant and they have impact on the vehicle choice.
8 But the one that has been the primary factor for as long
9 as I remember is the vehicle price. That is important.

10 It is for that reason that we are going to look
11 at some of the price trends that we see in the light-
12 duty vehicle market.

13 And what we should also note is that I mentioned
14 before that our forecast only accounts for state and
15 federal incentives. So, IRA incentives are in, the
16 rebates are in, clean fuel rewards are in. All of these
17 are state and federal. But we do not incorporate, we do
18 not account for the impacts of local incentives. And
19 that is also an important fact to know and declare here

20 Next, please. All right, so a look at the class
21 distribution is going to shed some light on where things
22 should be going. If you go -- if you recall from
23 Jesse's slide number 4, you could see in that slide
24 clearly that California has been moving away from cars
25 and into the what we call truck, which is everything but

1 cars. You can see the first five categories here are
2 cars, compact car, large car, midsize car, sports car,
3 subcompact. But we are moving away from that and the
4 share of the trucks, everything else is considered
5 trucks, the share of the trucks in California vehicle
6 population has been growing. And when it comes to the
7 sale of these vehicles, the share of trucks has been
8 increasing over time, over the past few years, as we
9 know.

10 So, that's important. It's important because if
11 a manufacturer wants to sell vehicles, they have to
12 consider that more and more people are buying from those
13 categories, from the truck categories, and more
14 importantly from SUVs. This is important for the OEM
15 because they would decide where their investment should
16 be going. As you know, GM and Ford for instance, last
17 year -- not last year, in the -- I think two years ago
18 or so, they just moved all of their car productions
19 outside the U.S., with the exception of one or two car
20 models.

21 But then, they were focusing -- they are
22 focusing their U.S. manufacturing on truck categories.
23 And more importantly, they are growing their SUV
24 population. Why? You can see here clearly the why is
25 really shown here both in the premium and in the

1 standard vehicle classes it is the SUVs that are selling
2 more. And more distinctly, it is the compact SUV that
3 has the highest share of the market, both in the premium
4 market and in the standard vehicle market.

5 What is the next one that comes? So, number one
6 is compact SUV. What is number two? It is the mid-size
7 SUV. And then, it goes to midsize car, which is the
8 next one with highest sale here.

9 So, there was a time when we were selling a lot
10 of subcompact and compact cars in the State of
11 California, but not anymore. Now, the majority goes
12 towards SUV. And that is important whether you are a
13 ZEV manufacturer, or not, it is important to you because
14 that's where the investment funds are going to go to.

15 Next, please. These are based on the actual
16 market data. Now, this one shows MSRP. We had to
17 increase the font size, otherwise they should all be on
18 the same slide. But what you can see between this slide
19 and the next one is that the MSRP for the gasoline
20 vehicles, and we are just comparing the two largest
21 categories, which is gasoline and ZEV, the MSRP for the
22 gasoline vehicles overall have been increasing. Between
23 2019 and 2023 we can see that.

24 But when it comes to battery electric vehicles,
25 with the exception of one or two classes you could see

1 that the price has been on the decline, and that's
2 obviously good news for everybody. So, while gasoline
3 vehicle prices have been rising, ZEV vehicle prices have
4 been declining.

5 And you can see on the column at the end, at the
6 very end, you could see that we don't have BEVs as of
7 2022, even 2023, we don't have BEVs in every class of
8 vehicles. But the column at the end is showing in our
9 forecast when those vehicles are going to be introduced
10 in the market.

11 For instance, large cars, EVs, are going to
12 enter the market in 2026. That's our forecast, that's
13 what we think.

14 On the other hand, when it comes to compact
15 pickup, we see that coming to the market in 2025. And
16 heavy pickup is going to come in 2026.

17 This is important, this trend is important and
18 because of this trend and what we are doing in our
19 forecast, we are lowering the price of EVs over time.
20 Not by too much, but we are lowering the prices of EVs
21 over time. And, obviously, that is going to encourage
22 more purchases by consumers in our model, in our
23 forecast.

24 Next, please. All right. And so, in this one
25 you could see that large SUVs are coming to the market

1 next year, and midsize SUVs are going to come to the
2 market, in EVs, in 2024. And minivans, which is -- I
3 think it is, and Jesse can correct me, I believe the
4 minivan that we are going to bring to the market in our
5 forecast is Volkswagen ID Buzz, I think. Yes.

6 And, of course, then we also have the standard
7 van that is in our forecast, it is going to come to the
8 market in 2025.

9 So, by 2026, essentially, we are forecasting
10 that we will have EV production in every class of
11 vehicle. By 2026 we will have EV production and supply
12 in every class of vehicle, so we are covered, and they
13 can compete then with gasoline vehicles.

14 As long as we don't have any EVs in a class,
15 obviously people are going to buy gasoline. Those who
16 need those classes, they are going to continue to buy
17 gasoline and diesel vehicles. But once we are
18 introducing these vehicles into the market, then they
19 are going to substitute for gasoline and diesel
20 vehicles, as they should.

21 Next, please. Okay, thank you. How about miles
22 per gallon? Well, miles per gallon, or the fuel economy
23 is important for vehicle choice. When you're buying a
24 vehicle, you are thinking about, well, what is the fuel
25 economy of this vehicle. And people have the tendency,

1 because they want to save money, they have the tendency
2 to go to the vehicles that are more efficient. Of
3 course, this is after taking into consideration whether
4 it meets their family's needs, or if they need trucks,
5 or SUV. Between those SUVs that are in the market in
6 those classes, then they are going to pick the ones that
7 have higher fuel economy or they are hybrid, for
8 instance.

9 In this one, we are just comparing the standard
10 vehicles, so this is not the premium, only the standard
11 vehicles. We are comparing the MPGs of BEVs and
12 gasoline vehicles. This is important. So, MPG is both
13 important to the choice of the vehicle, but because we
14 are generating fuel demand forecast, MPGs are important
15 to our fuel demand forecast.

16 So, look at the column on the right, which is
17 for the BEVs, the highest place goes to midsize class at
18 130 miles per gasoline gallon equivalent. That's a very
19 high fuel economy. And the only class in that category
20 for EVs is Model 3. So, Model 3 actually have an MPG of
21 130.

22 And so, what this means is that moving forward,
23 let's say, let's just assume that everybody was holding
24 a Model 3, that is going to reduce electricity
25 consumption. So, that is important for us to notice, to

1 pay attention in the differences in the fuel economy.
2 We are not only becoming more efficient, but the
3 consumption per vehicle is actually going to go down
4 with the gains in fuel economy. We don't know how much
5 longer this is going to grow, the fuel economy is going
6 to improve, but we are making the assumptions we are
7 using in order to be consistent with CARB. CARB is
8 using a 1 percent growth in fuel economy over time, and
9 that's what we are using.

10 So, whatever you see here is going to grow 1
11 percent a year to 2040. And as such, that is going to
12 put a downward pressure on consumption per vehicle.

13 So, that is going to have implications for our
14 transportation electricity demand forecast.

15 We have other -- as we have mentioned
16 repeatedly, we have other attributes, for instance
17 range. And I think Ben was asking this morning whether
18 or not temperature, high temperature is going to impact
19 range. Yes, it does. From what I have read, it is
20 reducing range by 30 percent.

21 So, what does that mean? Well, for those people
22 who are -- who are charging their vehicles at home,
23 well, they're going to just more frequently charge their
24 vehicle. They're going to fill it up and they're going
25 to bring it back. I think that the implication would be

1 mostly for the public chargers. And I don't know if our
2 colleagues at Fuels and Transportation Division are
3 going to account for that or not. But this is a new
4 thing, so we haven't really incorporated it, yet. We
5 haven't thought deeply about it, how we could
6 incorporate it into our load. But that is going to --
7 it's going to have impact on the number of chargers and
8 when people are charging. The other --

9 VICE CHAIR GUNDA: Aniss?

10 MS. BAHREINIAN: Yes.

11 VICE CHAIR GUNDA: Just one, one quick question.
12 So, when we have the total vehicle population in
13 California, so we have the sales in California and then
14 sales outside of California that might be coming in,
15 right?

16 MS. BAHREINIAN: Yes, uh-hum.

17 VICE CHAIR GUNDA: So, just want to understand
18 the rule right now of the ICE ban in 2035. Does that
19 mean -- is the interpretation that no more, you know,
20 ICE vehicles are sold in California or just in
21 California -- what's the interpretation? I mean could
22 it be conceivable that we're in a situation where people
23 are just buying across the border and bringing it into
24 California?

25 MS. BAHREINIAN: I think Quentin knows more

1 about that, but I don't think that they are going to let
2 it go that easily.

3 VICE CHAIR GUNDA: I know. I mean if it's a
4 two-part question, then the second one is like the
5 policy safeguard from some of those.

6 But just what is the interpretation right now?
7 And I'm kind of just thinking about this NEM 2.0 and
8 then you saw that surge of interconnection requests for,
9 you know, previous NEM. I mean are we going to be in a
10 situation like that where you see a surge towards the --
11 before 2035? And second, do we continue to see vehicles
12 coming across the border into California?

13 MR. GEE: Yeah, I mean -- yeah, so the -- as I
14 have read the regulation, it doesn't say anything about
15 cars that are -- you know, you buy a car, somehow you
16 register it in Nevada first, and then -- or, let's say
17 you go over to Reno and you have a cousin who has an
18 address there, maybe you can try to do that and then
19 play switcheroo back in. I don't know the specifics on
20 how there would be enforcement of that. There may be
21 limitations on the model year that you can register. I'm
22 not sure what the intentions are there, yeah, there is
23 theoretically that potential risk there.

24 But, you know, we're kind of not really seeing
25 that right now as a likely option. But, you know, yeah,

1 there's always some possible reason why it could
2 actually happen.

3 Probably, there's -- and the other question,
4 kind of like getting up to what's going to happen in
5 2034, is there going to be a mad rush, like you
6 mentioned with NEM 2.0?

7 I mean that -- we could also see that. But, you
8 know, there's also -- that's kind of like you want to
9 get locked into something good, like a good deal. In
10 2034, I don't know if people are going to always be
11 thinking this is a great time to buy this kind of thing,
12 and you better get it now because, you know, you're -- I
13 mean possibly. I mean some people might have that
14 interpretation. But, you know, there have been other
15 times where actually you see markets decelerate or
16 rapidly accelerate because people don't want to be left
17 behind in the transition to something new.

18 So, I think there's uncertainty there, but
19 something we're going to pay close attention to.

20 VICE CHAIR GUNDA: Okay, you actually like
21 stated that I'm like it could go both ways, right, and
22 then your uncertainty just grows.

23 MR. GEE: Yeah.

24 VICE CHAIR GUNDA: Right, both from the vehicle
25 population and the ZEV penetration. So, I think it will

1 be good for us to just qualitative set the stage for the
2 discussion.

3 MR. GEE: Yeah.

4 VICE CHAIR GUNDA: As we move forward.

5 MR. GEE: Okay. Yeah, great. Yeah, that's
6 something I think will make it into the IEPR, yeah.

7 MS. BAHREINIAN: I think it is also, at least in
8 the conversation of some of the CARB staff, there is
9 that expectation at CARB that in 2034 there could be a
10 mad rush toward ICE vehicles. Because that would be the
11 last year when they could purchase it.

12 How significant is that going to be? We don't
13 know that. But I'm sure that the people who love ICE,
14 they are going to make sure they are going to buy an ICE
15 vehicle in that year.

16 MR. GAGE: I think we sort of saw the same thing
17 when incandescent light bulbs were phased out, people
18 made a mad rush.

19 MR. GEE: There are going to be some challenges,
20 I think also in the market on that front. As Aniss
21 pointed out, prices are going up in the ICE realm.
22 Prices are coming down in the battery electric realm.

23 It looks like price parity for most vehicles,
24 battery electric versus the internal combustion
25 equivalent type of vehicle. Some of the market analyst

1 work that we've seen is saying 2024, 2025 for larger
2 vehicles that tend to be a little more expensive, maybe
3 that will happen.

4 But then, 2028 or so, or maybe a little bit
5 later for even smaller vehicles. There are fewer moving
6 parts in electric vehicles, they're easier to
7 manufacture. And, you know, do we expect ICEs or
8 gasoline cars to continue to increase in price? Maybe,
9 maybe not. But we have heard some reports about the
10 supply chains for ICEs maybe becoming less streamlined
11 and sophisticated as the OEMs here, the automakers,
12 start to transition themselves. So, what was a well-
13 oiled machine may not be so well oiled.

14 So, yeah, there's a lot of -- I mean there's
15 lots of reasons why it could go in either direction.

16 VICE CHAIR GUNDA: Yeah, thanks Quentin. So, I
17 think, you know, just from CEC's perspective, right, so
18 we have this important planning and forecasting
19 function, but we also have the opportunity to be that,
20 you know, independent, you know, venue for having this
21 kind of dialogue to really set the stage for --

22 MR. GEE: Yeah.

23 VICE CHAIR GUNDA: -- you know, both what other
24 constraints or policy, you know, levers we have to push
25 to make something happen, right. And also, at the same

1 time like looking at the uncertainty of that happening.
2 So, I really appreciate you looking into that and
3 setting the stage.

4 MR. GEE: Right, thanks.

5 VICE CHAIR GUNDA: Thanks.

6 MR. GEE: Uh-hum.

7 MS. BAHREINIAN: Next. Next, please. All
8 right, thank you very much for your attention, and we
9 will be happy to answer any question that comes up. And
10 I should mention that my colleague, Jesse Gage, sitting
11 right next to me, is part of the light-duty vehicle
12 forecasting team, has been doing a lot of heavy
13 lifting.

14 We have a new colleague, Namita Saxena, who is
15 also working with us, and she dives right into it.

16 And, of course, Elizabeth Phan, who is also
17 working on attributes. So, this is the light-duty
18 vehicle demand forecasting team. And we thank you all
19 for listening to us.

20 MR. WENDER: Thanks.

21 MR. GEE: Thanks, Aniss.

22 I'll hand over to Maggie Deng. Maggie is the
23 Lead Medium- and Heavy-duty Forecaster in the Advanced
24 Electrification Analysis Branch.

25 Maggie.

1 MS. DENG: Thanks Quentin. Can you all hear me?
2 It sounds like it's working.

3 Okay, great. Good afternoon everyone. My name
4 is Maggie Deng. And as Quentin mentioned, I am our Lead
5 Forecaster for medium- and heavy-duty vehicles,
6 especially our Freight and Truck Choice Model.

7 Seeing as I'm the last presenter for today's
8 Friday workshop, I will try to keep my presentation
9 succinct.

10 Next slide, please. So, in my presentation I'll
11 be providing a high level summary of MDHD vehicle
12 classes that our demand forecast covers, key model
13 components, some of the key, important data sources, as
14 well as a high level overview of key incentives. And
15 also, giving you just a sample snapshot of our truck
16 price forecast.

17 Also, on the right side here I've included a
18 graphic explainer of vehicle weight classes from our
19 very own MDHD Zero Emission Vehicle dashboard, created
20 by my colleagues in our unit, and which I highly
21 recommend everyone to check out on the CEC website, if
22 you haven't already.

23 And as you can see here, our modeling considers
24 weight classes 3 through 6 to be medium duty, and
25 classes 7 and 8 to be heavy duty.

1 Next slide, please. So, next up is a more
2 specific breakdown of the types of MDHD vehicles we're
3 modeling. At the top in dark blue are the broad
4 categories of vehicle types and below them are more
5 specific examples of our vehicle classes. For the
6 vehicle classes, the light blue color denotes that it's
7 included in the Freight and Truck Choice Model, which
8 I'll be specifically delving into in this presentation.

9 Whereas the vehicle classes in the white boxes
10 are covered by our other models, primarily led by my
11 colleague Elena Giyenko. Most notably here, buses and
12 motorhomes are not included in the freight modeling.

13 Next slide, please. So, before I dive into some
14 of the individual inputs, I'd like to start with a very
15 high level overview of how our freight and truck choice
16 model works. This is by no means comprehensive, but
17 will hopefully help ground some of the later slides.

18 So, to start, the model uses an estimated
19 allocation of existing truck stock to fulfill a
20 forecasted demand for truck miles needed by freight
21 movement within the state.

22 Another key component of the model is the econ
23 demo data, or economic and demographic data, which as
24 Aniss mentioned we're pulling from Moody's Analytics.
25 This is used to adjust the forecasted freight movement

1 across the state and has been updated for this year's
2 forecast.

3 So, after existing truck stock has been
4 allocated, the remaining demand for truck miles then
5 informs the required number of truck additions in each
6 forecast year.

7 From there, the truck choice model takes various
8 truck attributes, such as the delivered truck price,
9 incentives, and maintenance costs just to name a few, to
10 determine the fuel types of new truck additions. In
11 other words, that's where the model is determining
12 market shares.

13 All of these components feed into the main
14 outputs of the model, which are the forecast demand for
15 truck miles, truck stock forecast, and the resulting
16 energy demand forecast.

17 Next slide, please. Next, is a deeper dive on
18 how the forecast works. So, the graphic at the top
19 provides a different illustration of how the forecast
20 works.

21 Starting with that forecasted demand of vehicle
22 miles of freight movement in ton miles, which we pull
23 from the Freight Analysis Framework, or FAF, produced by
24 the Federal Bureau of Transportation Statistics, the
25 model then forecasts the number of trucks needed to

1 fulfill the freight movement demand.

2 Then, the existing truck stock, which we base on
3 DMV data and HVIP voucher data, is allocated first to
4 meet demand and a new truck sales forecast is then
5 created to meet that remaining demand.

6 This process incorporates truck attributes from
7 a variety of sources. I won't read them all out, but
8 just want to highlight a few key ones. This includes --
9 the data sources include CARB's EMFAC 2021 database, the
10 California Vehicle Inventory and Use Survey, or CA-VIUS,
11 and other staff and consultant research.

12 Finally, one of our key outputs that we forecast
13 is the total truck energy by fuel type. Of course,
14 notably electricity, but we forecast all fuel types.

15 Next slide, please. Moving on, here's a quick
16 overview of the key incentives we're including for this
17 year's IEPR.

18 First is the HVIP or Hybrid and Zero-Emission
19 Truck and Bus Voucher Incentive Program, administered by
20 Cal-START. The base voucher amounts, which you can see
21 on the right-hand side table, remain unchanged from the
22 2022 amounts.

23 For future years in our freight forecast, the
24 HVIP voucher amounts are scaled to the incremental truck
25 price. That is the difference in price between the zero

1 emission vehicles and the internal combustion engine
2 vehicles.

3 Next is the CARB-administered Carl Moyer Low NOx
4 Incentive, which ranges from \$10,000 to \$25,000 for
5 natural gas vehicles.

6 And last, but not least, is the most recent
7 addition of the Inflation Reduction Act, which we first
8 incorporated in last year's IEPR update and will
9 continue to do so this year.

10 Based on the language of the IRA, the incentive
11 we're including in our freight and truck choice model
12 will be capped at \$7,500 for Class 3 trucks, and capped
13 at \$40,000 for all heavier weight classes.

14 Next slide, please. And can we actually go one
15 more? Thank you.

16 So, next I just want to provide a slice sample
17 of our truck price forecast using the Class 8 Day Cab
18 Tractor Trucks as an example. These are typically the
19 kinds of trucks that we would find being used at the
20 ports.

21 So, to start, CEC's truck price forecast is
22 based on market research conducted by consultants a few
23 years ago, and further refined by staff.

24 I want to especially note that in last year's
25 IEPR update staff incorporated the spike in raw material

1 prices for battery packs for electric trucks. And for
2 this year's forecast we've since updated that with more
3 recent data.

4 So, looking at this graph of Class 8 Day Cab
5 Tractors, electric trucks for this vehicle class, shown
6 in orange, are slightly above \$400,000 in 2023. Whereas
7 diesel trucks, shown in blue, hover around \$150,000 in
8 2023.

9 We've cross-referenced with purchase price
10 information for electric trucks from HVIP data to ensure
11 that our values are in the ballpark of actual purchase
12 prices being seen this year so far.

13 In our forecast here, electric trucks reach
14 price parity with diesel in 2032 and then dip even below
15 diesel prices further out in the forecast.

16 For a comparison with other sources, I've also
17 included projected electric truck prices for Class 8 Day
18 Cab from a Total Cost of Ownership Study done by Argonne
19 National Lab. These are the green dots here for 2025,
20 2030, and 2035. The lines between these points were
21 just added by me to illustrate the general trend.

22 But as you can see, when we compare our CEC
23 truck price forecast with Argonne National Lab, the
24 general trend of decline generally aligns between the
25 two in orange and green.

1 And can we go back one slide.

2 MR. WENDER: Can I just ask, Maggie, what the --

3 MS. DENG: Sure.

4 MR. WENDER: -- main driver of difference
5 between the Argonne and CEC price models are, and is
6 that the update that you did to account for inflation
7 and materials.

8 MS. DENG: So, yeah, my understanding is I
9 believe the Argonne National Lab might predate that raw
10 materials spike - at least from my reading I didn't see
11 that being included. But I think there's also maybe
12 some different assumptions. I'm not entirely sure,
13 yeah, what market research they might have based it on
14 versus what ours is based on. Thanks for the question.

15 Okay, thank you. So, I just want to conclude on
16 a comparison of our baseline forecast and the two AATE
17 scenarios. I know this is technically focused on
18 baseline forecast, but I thought this might be helpful
19 for all of us.

20 So, as a summary here, starting with baseline
21 econ and demo data will be used across the baseline
22 forecast and our two AATE scenarios.

23 Vehicle attributes also generally remain
24 consistent at baseline levels, with the exception being
25 delivered truck prices for AATE scenario 2.

1 In AATE scenario 2 we will be using lowered
2 truck prices in order to model more aggressive ZEV
3 adoption. And so, this is what we did in last year's
4 IEPR update and will continue to do that this year.

5 Then incentives, as I briefly went over, and
6 truck fuel prices are maintained at the baseline for,
7 again, forecast -- baseline forecast and the AATE
8 scenarios.

9 The CARB regulations at the bottom of this table
10 here are where the key differences lie. So, the
11 baseline forecast incorporates the impacts expected from
12 the Advanced Clean Trucks regulation, which has a
13 manufacturer sales requirement for zero emission trucks.

14 Since the CEC -- I also just want to note that
15 since the CEC model is demand side, the baseline
16 forecast incorporates ACT compliance by an aggregate, by
17 tallying new truck additions and calculating net credits
18 statewide compared to the schedule of ACT.

19 And AATE scenario 2 is the same as baseline,
20 also incorporates ACT compliance.

21 Now, the key difference lies in AATE scenario 3,
22 which is our most aggressive ZEV adoption scenario.
23 This incorporates expected impacts from the recently
24 adopted CARB regulation Advanced Clean Fleets, or ACF.
25 ACF includes a 100 percent ZEV sales requirement for

1 MDHD beginning in 2040 for different fleet types,
2 including what CARB designates as high priority and
3 federal fleets, public fleets, and drayage fleets there
4 is a variety of different ZEV adoption schedules.

5 For our AATE scenario 3 we leverage CARB's
6 projections of ZEVs expected to result from ACF, and
7 assign within our model -- as a post process, we assign
8 new vehicles sales in order to align our ZEV market
9 shares with those projected volumes -- CARB's projected
10 volumes of MDHD ZEVs.

11 So, similar to as what Aniss explained in LD,
12 our total MDHD population remains the same, however the
13 makeup of fuel types is what's differing in AATE
14 scenario 3.

15 And can we advance two slides, please. So, that
16 concludes my presentation. Thank you very much for your
17 time and attention. I would just conclude by saying
18 that we've been engaged in a lot of different
19 conversations with sister agencies and stakeholders
20 about the uncertainties around, you know, different
21 truck attributes for MDHD ZEVs in particular. And we're
22 looking forward to continuing those conversations in the
23 future.

24 So, thank you for very much and looking forward
25 to input.

1 VICE CHAIR GUNDA: Thank you, Maggie. I just
2 have a few comments for us. So, just first of all I
3 want to welcome you to the MDHD forecasting space. And
4 also want to take a moment to thank Bob for many, many
5 years of work and continuing to foster that. You know,
6 congratulations to him on his retirement. And thanks
7 and gratitude for all the good work that he's done over
8 the years.

9 Wanted to direct just a quick first kind of
10 comment on the ACF being included in the AATE 3. Which
11 one are we baking into the forecast for the IRP? So, I
12 mean like so when we have the scoping plan compliance
13 for the light-duty vehicles, which AATE was it a part of
14 and is this going to be a part of that?

15 MR. GEE: Vice Chair, so I don't think I quite
16 caught that. Were you talking about -- you said IRP or
17 --

18 VICE CHAIR GUNDA: Yes. So, when we send the
19 forecast over to the forecast people to --

20 MR. GEE: Oh, okay. Before IRP, okay. Yeah, so
21 AATE 3 is the transportation electrification scenario
22 that is part of the planning forecast. It is also part
23 of the local reliability forecast, whereas AAEE and AAFS
24 have different scenario inputs into the local
25 reliability.

1 But the goal of the AA framework is the number 3
2 scenario that's kind of the one that's used for IRP.

3 VICE CHAIR GUNDA: That's awesome. Thank you.
4 That's clear.

5 And then, just on the geographic disaggregation
6 question that came up, especially I think this has a
7 huger impact on the local reliability, the
8 interconnection planning. Wanted to make sure -- this
9 is more of a comment. If you have, you know, something,
10 a reaction, just making sure we're consistent with FTD
11 in kind of some of their charging distribution planning
12 and reliables. So, we have an idea, not just on the
13 energy system needs but, you know, which areas might be
14 constrained.

15 One thing I would propose for us, even though we
16 don't necessarily have to comment beyond the forecasting
17 zones for our forecasts, it might be helpful for us to
18 qualitatively describe in our forecasting some areas of
19 potential high electric growth, right, and potential
20 congestion to be just kind of named, you know, so that
21 we can continue to think about that.

22 You know, this is an evolving question and PUC's
23 doing a bunch of good modeling, CAISO's doing modeling.
24 But to the extent that we can just frame the question on
25 here's some high level load pockets we see happening

1 with the load that we're expecting will be really
2 helpful.

3 The comment to Jesse, thank you for your
4 personal story on the hydrogen stuff. I think it was
5 really helpful to just kind of have that story of like
6 here's how the hydrogen success, and difficulties,
7 challenges that we have to overcome are specifically in
8 translating that information, you know, beyond the
9 anecdotes, just kind of broader data.

10 Aniss, if you're the right person to comment on,
11 you know, how are we translating that into our
12 forecasting inputs? You know, what's really changing in
13 our inputs?

14 MS. BAHREINIAN: What we have -- we have two
15 variables in the model that are going to account for
16 some of these. One is distance to station, so the time
17 that it takes to get to the station. And then, the
18 other one is refueling time.

19 You mentioned, Jesse mentioned that in one of
20 the stations that he has gone to they have put down that
21 there's going to have to be a 10-minute gap between the
22 fueling. So, technically, if you want to account for
23 the full time that somebody is going to refuel, that ten
24 minutes has to be added to the refueling time that we
25 have for hydrogen vehicles.

1 And then, of course, going to Concord is going
2 to be quite problematic when it comes to time to
3 station. So, we are going to have to adjust those if
4 these are permanent condition. If it is a temporary
5 condition, remember that our forecast is a long-term
6 forecast. But if these are temporary conditions, we
7 wouldn't change anything.

8 If we get some inclination that this is going to
9 be permanent, then we're going to have to incorporate
10 that into the time to station and refueling time.

11 VICE CHAIR GUNDA: Yeah, I would think -- oh, go
12 ahead.

13 MR. GAGE: And I would like to -- this is Jesse
14 Gage. I would like to reiterate that this is just one
15 station that's having the 10-minute mandatory wait
16 between fill ups. Other stations -- I mean, you know,
17 long lines can obviously impact the time to refuel. But
18 they don't have anything absolutely crazy like I've seen
19 over there during outages like this.

20 And Aniss said, this too shall pass. And, you
21 know, look forward to getting out of this current
22 shortage and, hopefully, things get better from here.

23 VICE CHAIR GUNDA: Yeah, thank you, Jesse and
24 Aniss. I think just a comment, I think it will be
25 helpful for us to have, you know, either, you know, in a

1 public forum or through the DAWG, of however, just a
2 little bit more robust discussion on hydrogen in the
3 short term and in the long term. And in the next
4 presentation that we come out publically, it will be
5 helpful to kind of summarize those. I think it's
6 important given there is a push for hydrogen economy in
7 the state. There's huge incentives that are lined up.

8 And just want to have that context of both the
9 challenges, what we expect to overcome, and the
10 uncertainties to just be documented in a public setting
11 would be helpful. Thank you.

12 MR. GEE: Vice Chair, I would also note, there
13 -- I think that's a really good point. We'll have some
14 qualitative discussion there, and maybe throw in some
15 numbers to, you know, to show what's going on.

16 There's also a part of the IEPR that is expected
17 to come into here, a chapter pertaining to Senate Bill
18 1075, that tasks the Energy Commission with
19 commissioning a study to envision or to evaluate the --
20 sort of set up a scenario for what hydrogen could look
21 like as a source for procuring power, maybe peak power,
22 maybe even potentially baseload, and then also
23 transportation in that framework.

24 And that's something that we're working on.
25 Actually, that's another project that has fallen into

1 Maggie's lap, that she has graciously accepted.

2 But yeah, but definitely we will also want to
3 have some discussion there. The \$30, \$34 hydrogen, you
4 know, per kilogram price is -- and that has created a
5 little bit of a challenge for us to try to figure out
6 exactly how to assess our fuel price forecast, but we
7 will continue to hammer away at that.

8 MR. GAGE: And I don't expect the \$34 to last.

9 MR. GEE: Yeah.

10 MR. GAGE: I mean this is a very emergency
11 measure that they're taking. I think what's happening
12 is they're having a disruption of the pipeline, so
13 they're trucking the hydrogen over.

14 MR. GEE: Yeah.

15 MR. GAGE: I'm not sure, though.

16 MR. GEE: Yeah, I think that's the hope.

17 MR. WENDER: Since we're talking about the
18 hydrogen, I'd be curious if you could comment on the
19 vehicle supply side and, you know, what hydrogen fuel
20 cell vehicles are available, if any are in that more
21 popular SUV, heavier weight range. And then, if any
22 have been announced or are anticipated to come to market
23 in the near term that influence your forecast.

24 MR. GAGE: Sure. There are two models
25 available. There's the Toyota Mirai, and that's a

1 compact, midsize sedan. And then, the NEXO, what I
2 drive, which is a compact SUV. Currently, the Mirai
3 outsells the NEXO about ten to one. I think this just
4 might be just on brand, they're picking -- I mean Mirai
5 is really established. It's been around for several
6 years now and it's kind of what people default to when
7 they think of a hydrogen fuel cell vehicle, if they
8 think of them at all.

9 There was also the Honda Clarity PHEV, which was
10 out -- I don't know, it was also quite a while ago. It
11 was discontinued in, I believe, 2021. Don't see a lot
12 of those around. But I hear that they're planning on
13 bringing that back in 2024. I don't know if that's
14 going to make it into this market or not.

15 I've also heard rumors from BMW. I know they're
16 kind of proponents of hydrogen, but that might be for
17 the European market again.

18 MR. WENDER: Okay, then one other question for
19 Aniss around this question of used zero emission
20 vehicles, and how they're treated, and what kind of
21 fractions of sales they account for previously in your
22 models, or if you think the model will start picking
23 them up as a larger fraction of sales going into the
24 future?

25 MS. BAHREINIAN: The used vehicle sales,

1 depending on what the price is and, of course, when it
2 comes to EVs you have to also look at the health of the
3 battery, because that means cost down the line.

4 As the model treats it, as it goes on it will
5 maintain those in the market up to a certain year, and
6 then it would get rid of them.

7 Whether in reality how many people, what
8 percentage of the households are going to actually buy
9 used BEVs we really don't know that. We know that there
10 are a lot of -- there are a lot of incentives in some of
11 the areas of California. Like in Fresno, I know that
12 there were some incentives for the used EVs.

13 But as I mentioned, we are not accounting for
14 the local incentives and those are local incentives.
15 Unfortunately, so far we haven't figured out how to run
16 the model with the inputs that we need for -- at
17 regional level. And, therefore, we cannot really speak
18 to that, per se.

19 MR. WENDER: I guess the last broad comment or
20 range of questions gets to this second step after you
21 get the energy forecast, and you start allocating that
22 to specific times of day, and really trying to think
23 about doing some sensitivities and evaluations around
24 when vehicles charge, how many are charging at any given
25 time to get a clear sense of what that means in terms of

1 eventual procurements, or infrastructure build required,
2 and potential savings associated with different charging
3 behaviors.

4 I'm curious the extent to which that's explored
5 as a sensitivity in the models now or could be
6 considered going forward.

7 MR. GEE: Yeah, that's really important. That's
8 an important part of the forecast, actually, the load
9 shape work.

10 There weren't any major inputs and assumption
11 modifications. I mean we're updating the time of use
12 rates and things like that in the load model.

13 But basically, after we get the forecasting
14 team's annual gigawatt hour demand, we do put that into
15 a load shape models that determines load shapes for
16 8,760 hours over each forecast year.

17 And that is used to inform the forecast overall
18 and sort of anticipate what's the peak day -- or, what's
19 the peak hour of the forecast and what should we plan
20 to.

21 There is -- there are some -- I think I even saw
22 some questions in the Q&A box that kind of pertain to
23 some of this as well. But was that all that you were
24 looking for or was there something about the -- you're
25 talking about the geographical distribution of this as

1 well?

2 MR. WENDER: At this time I was on the temporal
3 distribution.

4 MR. GEE: Temporal.

5 MR. WENDER: Really, the sensitivity of that and
6 if you've explored that through these models.

7 MR. GEE: Yeah. We are -- one challenge I would
8 say that we have with the load models is that they are
9 based on time of year rates -- time of use rates. So,
10 we have input load shapes that kind of -- that are based
11 off real-world data with what we've seen in the vehicle
12 charging patterns and behavior there.

13 But then we have time of use rates that precede
14 that data, and those time of use rates we have good
15 evidence that there's some responsiveness. It's not
16 perfect responsiveness. It's not like, you know, from
17 5:00 p.m. to 8:00 p.m. rates go up by, you know, 20
18 cents per kilowatt hour in a given utility area, and
19 everyone turns off the charger, right. There's still a
20 good chunk, I don't even know if it reduces the load by
21 half during that time period.

22 But, yeah, there is some sensitivity to the
23 prices there. But what I would point out is that those
24 time of use rates, we really only have about a six year,
25 on a good year, we have maybe a six year time horizon,

1 maybe only a four or five year time horizon until the
2 next time of use cycle updates.

3 And so in that situation, you know, when we
4 start forecasting out, I mean we are going to 2040 this
5 year pursuant to new laws and requests from CAISO. We
6 are going to go out there, but there is a caveat that
7 the load shape model kinda can only see the time of use
8 rates so far into the future.

9 And there's lots of other technologies that can
10 deal with load management, there's lots of other
11 opportunities around vehicle to grid, vehicle to
12 building, et cetera. So, there's a whole lot of
13 uncertainties on that front.

14 But I think what we're kind of putting forward
15 in the load shape work that we do provide in the IEPR is
16 kind of, you know, here's kind of a business as usual
17 sort of approach.

18 And, you know, we had the SB846 Load Flex
19 Report. We are also working on -- I'm working with
20 staff right now, with Liz Pham and the student assistant
21 of ours, Jeffrey Chen, who will be looking at a new type
22 of scenario that will take into account the possibility
23 that a good chunk of folks might engage in what we call
24 V to B arbitrage. So, that's basically the time of use
25 rates are bad -- or not bad, sorry. I didn't mean to

1 say that. They're very good in a lot of ways. But they
2 are, from an economic perspective they could be bad --
3 it's not a good idea to charge, unless you need to, you
4 know, at 5:00 p.m. Why would you pay, you know, so much
5 money when you could charge at 12:00 a.m. instead.

6 So, we're looking at the possibility of people
7 actually using their batteries, not necessarily to feed
8 onto the grid. I think that that technology and that
9 framework right now, except for the load shape report,
10 is a little bit conjectural. But there is a basis for a
11 vehicle to building usage there.

12 And we are looking at a scenario where we're
13 kind of -- we're going to look into evaluating what
14 could be the load impact if, say, 5 percent, or 10
15 percent, or 20 percent of vehicle owners decided to say,
16 hey, I can actually, you know, use my car as a battery
17 and run my AC for a couple of hours off of my car. It's
18 not going to take much out of my battery and it will
19 save me a couple bucks every day. So, we're looking at
20 that possibility.

21 MS. BAHREINIAN: Also, regarding your specific
22 question on the sensitivity analysis, the load shape
23 model, which is called EVIL, for no good reason-- it is
24 called EVIL. It has price elasticity which is a user-
25 defined field. And as of now, price elasticity that is

1 used in the model is about 0.3, so it is less than even
2 0.5. We were calling it inelastic.

3 What that means is that if you increase the
4 price, well, consumers aren't really going to respond
5 that much to it. But what we can do is say, okay, what
6 if price elasticity is .5 or .7, or 1, what are the
7 consumers going to do.

8 So, for the sensitivity analysis that you were
9 mentioning, that is something that we can do in the
10 model. We can change the elasticity and see what the
11 impact is going to be on the system.

12 VICE CHAIR GUNDA: Awesome. Thank you, Aniss
13 and Quentin. I think, just in the interest of time we
14 might want to just go -- oh, Commissioner McAllister, do
15 you have -- oh, okay. And just go to the Q&A.

16 I think we're starting the Q&A about 10 minutes
17 late, so I do want to give 10 minutes and then we can
18 close.

19 MR. GEE: Great. Yeah, I think we actually
20 answered some of these questions about V2G. So, the
21 first one I see -- so, I'm going to focus on the ones
22 that are most pertinent to the topic at hand today.

23 So, the availability -- Kevin Cameron asks about
24 the V2G capability of EVs being factored into planning.

25 I think in terms of the forecast there isn't --

1 it's not a critical component of the forecast. It's not
2 as if in our choice models we say this is a V2G vehicle,
3 therefore a consumer is more likely to purchase it. So,
4 it's not incorporated in that way.

5 I think, Aniss, can you speak to -- are we --
6 we're considering that in the survey, right, that
7 possibility?

8 MS. BAHREINIAN: So, whenever it comes to
9 questions like that, like V2G, how are the consumers
10 going to behave. You're going to have some kind of data
11 based on which you could build a model and then do it.
12 We don't have any data, yet. But in the new survey that
13 we are going to start soon, very soon, we are going to
14 incorporate questions on V2G, the vehicle to grid, and
15 see how people are going to behave. You cannot really
16 predict anything if you don't know how the consumers
17 behave.

18 And so, we are going to try to capture consumer
19 behavior when it comes to vehicle to grid activity. So,
20 that's a future thing. We don't have it presently, but
21 it is going to come.

22 MR. GEE: Great. Thanks Aniss.

23 The next question from Lauren Hanson: Tuesday's
24 meeting included a mention of automation of the decision
25 process for EV owners on when to refuel their cars,

1 which can reduce their electricity costs and flatten
2 peak demand in critical moments. When is this
3 automation expected to be available and how we will you
4 account for its positive effects, if your electricity
5 demand is on modeling this year and going forward?

6 So, what -- as I mentioned, we did do the SB846
7 load shift report, which does include those types of
8 opportunities.

9 As far as the forecast goes, really at this
10 point we have the EV load model that does a responsiveness
11 to time of use rates. We don't actually account for how
12 consumers are likely to do that. We just assume that
13 that elasticity in there -- or, not assume. We're
14 basing the elasticity off of the data that we have. And
15 we could be sensitive, we could change sensitivity
16 there.

17 But what I would say is that there is a
18 possibility of other things, what we might call smart
19 charging, also there is the V2G arbitrage scenario that
20 I mentioned before, and there's actual V2G. So, there's
21 a sort of an increasing range of vehicle grid
22 integration that we can capture in the long run. Right
23 now, we're currently focusing just on the time of use
24 rates.

25 One might argue that some of what we would call

1 smart charging is kind of captured in that already
2 because someone might just -- you know, instead of
3 setting a timer, you might have -- you know, begin to
4 participate in some kind of load program that does the
5 same -- load shifting program that actually helps you do
6 that more reactively. But currently not directly
7 addressed in the forecast.

8 Let's see. Claire Broome from 350 Bay Area:
9 What rate schedules do you assume for light-duty
10 charging, default TOU or EV rates?

11 Currently what we do is we do use the EV time of
12 use rates in that.

13 Some other questions. So, charging -- so
14 Kristian Corby from CalETC: How are charging levels and
15 preferences incorporated into the model?

16 Aniss, did you want to talk? I mean I guess --

17 MS. BAHREINIAN: Can you repeat the question?

18 MR. GEE: How are charging levels and
19 preferences incorporated into the model?

20 I think Kristian means preferences for charging
21 of specific types.

22 MS. BAHREINIAN: Yeah, I think that by charging
23 level, the question must mean the difference between,
24 for instance, level 3, level 2 and all that. We do not
25 have -- currently we don't have any preferences for

1 those in our model.

2 I know that our colleagues at Fuels and
3 Transportation Division, they are using NREL's model,
4 which is called EVIPRO. And EVIPRO does have a
5 preference for the type of charging. So, that is
6 incorporated.

7 And if you are interested in AB 2127, those, all
8 of those are discussed, and explained, and projected.

9 But in our LDV forecast we do not incorporate
10 it, other than, say, the time to station, and the
11 refueling time. We are making assumptions about how
12 many of those public chargers are level 3 and how many
13 are level 2. So, based on those assumptions we have set
14 consumer preferences. But in the EVIL model it doesn't
15 do that, it doesn't have any preference.

16 MR. GEE: Great. Thanks.

17 Next one we see -- oh, this thing keeps moving
18 on me. Yihao Xie from ICCT: How is IEPR incorporating
19 the CPU's freight infrastructure planning proposal?

20 Maggie, do you want to take a stab at that or do
21 you want me to? Okay, just in case.

22 But, yeah, so we are working very closely with
23 the California Public Utilities Commission and the
24 utilities on the Freight Infrastructure Planning
25 Proposal. The Freight Infrastructure Planning Proposal

1 will, we are hoping will use the IEPR results, the IEPR
2 forecast values for that.

3 How to precisely do that I think is an upcoming
4 question that we're continuing to try to work on with
5 the Public Utilities Commission.

6 Kristian Corby: Can Maggie explain what she
7 said about the MDHD population staying the same through
8 the three scenarios? How is that possible with number 3
9 being the most aggressive?

10 MS. DENG: Yeah, I can quickly clarify that.
11 Thanks Kristian. So, what I meant by that is that the
12 total MDHD populations, not just ZEVs, but total MDHD
13 population including diesel trucks, electric trucks,
14 hydrogen, et cetera, that is staying the same. So, I
15 don't have that number off the top of my head.

16 But for example, in last year's IEPR forecast,
17 as we said, the State of California will need 1 million
18 freight trucks to fulfill all of the freight demand
19 within the state.

20 Then what's changing between the scenarios is
21 not that 1 million total population but, rather, within
22 that 1 million how many are diesel, how many are
23 electric, how many are hydrogen, et cetera. So, I hope
24 that helps clarify.

25 VICE CHAIR GUNDA: Yeah, Maggie, one piece there

1 might be so those, the overall population does not stay
2 constant in the sense that it's also forecasted.

3 MS. DENG: Yes.

4 VICE CHAIR GUNDA: It will continue to grow.
5 But for any given year of the forecast it then kind of
6 is distributed by technology based on the preferences
7 and other things. Thanks.

8 MS. DENG: Correct. Thank you, Vice Chair.

9 MS. BAHREINIAN: Yeah, so one thing that I can
10 add is that very much like light-duty vehicles, when we
11 are forecasting, the difference between the forecast and
12 the scenario, we said, remember in one of the slides I
13 mentioned, that the total population is going to be
14 exactly the same in the AATE scenario versus the
15 forecast.

16 The reason why those are the same is that the
17 starting point is the forecast and then what AATE 3
18 does, it post-processes those results to make the market
19 share of the ZEVs the same as it is used in different
20 CARB policies. That's how it works. It is because of
21 the post-processing. The total population is going to
22 remain exactly the same thing because it's based on the
23 same forecast.

24 MR. GEE: Great. Yeah. Daniel Nelli asks: So,
25 IEPR EV electricity forecast does not include

1 electricity which may be used upstream to produce
2 hydrogen for FCEVs?

3 Yes, that is correct. We do not. We are
4 looking at demand for the fuel. And so, when we demand
5 a kilogram of hydrogen, we are not anticipating the
6 source of the hydrogen. That could be bio-based,
7 theoretically it could be fossil-based hydrogen. I
8 don't think that's necessarily in line with long-term
9 state goals. But, so, for hydrogen, for electrolysis we
10 would not be including that.

11 But I think the SD1075 section will probably
12 address that. And when we work on our demand scenarios
13 project, we will capture the electricity that's required
14 to produce hydrogen. But for the transportation
15 forecast, that's not quite where it's headed with that.

16 Kevin Cameron asks: Trucking will go battery
17 swap.

18 I don't think that --

19 VICE CHAIR GUNDA: Quentin, that kind of
20 hydrogen electrolysis portion ultimately gets captured
21 in the industrial forecast for --

22 MR. GEE: I believe so, yes, yes.

23 VICE CHAIR GUNDA: It's captured somewhere else?

24 MS. BAHREINIAN: It could be captured.

25 MR. GEE: I could be captured, yeah.

1 MS. BAHREINIAN: But I'm not sure if it is
2 currently captured or not. But industrial would be the
3 good place to put it.

4 MR. GEE: Yeah. Last year's IEPR did not have
5 very much hydrogen demanded, so it probably would not be
6 a noticeable impact. But, yeah, if we anticipate more,
7 it's certainly something for us to make sure we think
8 about and add into.

9 VICE CHAIR GUNDA: Yeah.

10 MR. GEE: Yeah.

11 VICE CHAIR GUNDA: I think the demand scenario
12 does capture that for the SB 100 purposes. But I think
13 having a discussion on when we onboard that part of the
14 scenario into a forecast would be helpful moving
15 forward.

16 MR. GEE: Yeah, yeah. So, the forecast -- the
17 forecast results would go -- the transportation forecast
18 results would go into the demand scenarios. And when
19 the demand scenarios do a more complete sort of economy-
20 wide analysis, they'll add it in at that point, yeah.

21 Kevin Cameron asks if trucking will go battery
22 swap?

23 We don't think -- currently not. We don't have
24 that in the model. Right, Maggie? No. And we are not
25 confident that that's probably where it will be going.

1 It theoretically could, but given the state of the power
2 chargers that we're looking at, it might not be going in
3 that direction. We don't have any indication to suggest
4 that it will.

5 And then, Lauren Hanson asks: When do you
6 expect that the 2023 IEPR and its electricity supply
7 demand projections will be made available to the CPUC to
8 inform decisions that agency plans to make before the
9 end of this year?

10 Traditionally, the IEPR is adopted the year of
11 the IEPR. So, in this case the 2023 would be adopted in
12 -- we generally plan for it to be adopted in January of
13 2024. We do work with the CPUC and other agencies to
14 coordinate on this through the Joint Agency Steering
15 Committee. So, I think it will be okay, we'll talk
16 about that at the JASC, I guess, if there's a concern.
17 Yeah.

18 And I think that's about all the time that we
19 have right now for questions that relate to that. Thank
20 you.

21 Oh, sorry. Yes. Oh, there's a question in the
22 room. Is there? Oh, are there questions in the room,
23 any hands? No hands. Okay. I forgot about in. I'm
24 not used to the real world.

25 Okay, so I think we did want to save a little

1 bit of time for public comment, thank you. Any public
2 comment, in-house public comment?

3 MS. BAILEY: I can go ahead and give those
4 instructions again, Quentin, if you'd like.

5 MR. GEE: Oh, okay, great. Thank you,
6 Stephanie.

7 MS. BAILEY: Yeah, so just a quick reminder, we
8 do welcome written comments after the work shop by 5:00
9 p.m. on September 1st. And for instructions on how to
10 provide those comments, go ahead and see the notice for
11 this workshop which is posted on the CEC's website.

12 So, it's time to turn to public comments now.
13 One person per an organization may comment and comments
14 are limited to 3 minutes per speaker.

15 We'll start with those that are participating in
16 person and I will turn it back over to Quentin to see if
17 there are any commenters on his end.

18 MR. GEE: It doesn't look like it.

19 MS. BAILEY: Okay, great. So, then we'll go
20 ahead and start with people that are participating
21 remotely. If you are on the online Zoom platform, you
22 can use the raise hand feature to let us know you'd like
23 to comment, and we'll call on you and open your line.
24 We do ask that you state your name, and spell your name,
25 and the affiliation so that we can ensure that our

1 record reflects the correct spelling.

2 And I see three hands here now. Sarah Taheri,
3 you can go ahead. You may need to unmute on your end.

4 VICE CHAIR GUNDA: Sarah, if you can hear us,
5 you may need to unmute on your end. Okay, just go to
6 the next one.

7 MS. BAILEY: Okay, we'll go ahead. Yeah, we'll
8 go ahead and go to our next hand up here. We have Hang.

9 VICE CHAIR GUNDA: Can we make sure that they
10 can unmute on their end? This is the second caller.

11 MS. BAILEY: Yeah, I am selecting for them to
12 unmute. Let's try one more just to make it's not a
13 glitch on our end.

14 Claire Broome, I'm going to allow you to be able
15 to talk here, if you can unmute on your end. Claire,
16 are you there? No.

17 VICE CHAIR GUNDA: She was able to unmute,
18 though.

19 MS. BAILEY: Oh, it looks like she's -- okay,
20 let's see. Hmm.

21 MS. BROOME: Can you hear me now?

22 MS. BAILEY: Yes, we can. Okay, Claire.

23 MS. BROOME: Well, I had to -- I unmuted, then
24 it wanted to promote me to a panelist, and then I had to
25 unmute again. So, maybe the other people are having

1 problems with that.

2 MS. BAILEY: Got it, thank you.

3 MS. BROOME: Yeah. Anyway, Claire Broome, C-L-
4 A-I-R-E B-R-O-O-M-E, representing 350 Bay Area.

5 And I want to start by congratulating the Energy
6 Commission staff and the Commissioners for an
7 impressive, sophisticated, and complex approach to
8 modeling these issues, which are so important for
9 California's environment and ratepayers.

10 Vice Chair Gunda indicated that he wants to be
11 sure he is able in his forecasting to address potential
12 demand, and he referred to this as a conservative
13 approach.

14 However, from a ratepayer perspective, I would
15 say the potential for over-building infrastructure is
16 very real. So, it's not necessarily conservative. And
17 I know that's why you all spend so much time trying to
18 get the modeling right.

19 The two points that I wanted to comment on,
20 where I think there might be some room to help us all
21 succeed. First of all, on being sure you're considering
22 all of the resources that might be available to meet
23 that demand.

24 This refers back to the Tuesday workshop, but I
25 think there is, as best I can tell, no consideration of

1 wholesale photovoltaics on the distribution grid, which
2 is a resource particularly, almost equal in size that
3 really needs to be incorporated into resource planning.
4 Happy to provide references.

5 And the demand modifier side, I'm very impressed
6 by what's been talked about for the predictions. But I
7 think it's important to put more effort into
8 modification of load. We talked a little bit about
9 vehicle to house or vehicle to grid, but also behind-
10 the-meter batteries could be used to address some of
11 that high load for emergency reliability.

12 So, I would just urge the Commission to be sure
13 to include scenarios which optimize load modification
14 and load shaping. I think this is particularly
15 important to both achieve California's goals, but also
16 avoid burdening ratepayers beyond what's necessary.

17 The chance for load modifiers to decrease peak
18 capacity and also to do demand flexibility during
19 extreme weather conditions is very real.

20 I was delighted that Vice Chair Gunda mentioned
21 CalFUSE. I think there's some huge potential there.

22 I think you're giving me more than three
23 minutes, which I appreciate, but I will stop now and
24 thank you very much for all your efforts.

25 MS. BAILEY: Thank you, Claire.

1 Okay, we're going to -- oh, good, it looks like
2 Hang was able to get promoted to panelist. Let's see if
3 we can get Hang to provide comments now. I think you
4 may need to unmute on your end. Hmm. It doesn't seem
5 to be working.

6 Okay, well let's give Sarah Taheri one more
7 chance here. Sarah, it sounds like it may ask you to
8 promote to panelist, and then you'd need to unmute, and
9 then unmute again once you've been promoted. Sarah, you
10 can go ahead, if you're there.

11 Okay, well, we have not had any luck with our
12 other comments. I see no others. I guess I will turn
13 it back over to Vice Chair Gunda for any closing
14 remarks.

15 VICE CHAIR GUNDA: Yeah, thank you so much,
16 Stephanie, for trying to do that. And to Hang and
17 Sarah, if you -- if there was a technical issue,
18 apologies on our end.

19 And Claire, thank you for your comments as well,
20 really helpful to think through, you know, the
21 statements I was trying to kind of make in terms of the
22 ratepayer impacts, as well. Totally good comments on
23 that to consider.

24 So, I don't want to say this is my favorite
25 workshop, because I shouldn't --

1 (Laughter)

2 VICE CHAIR GUNDA: But I will say it's one of my
3 favorite workshops.

4 And for those of you, about 60 online still, and
5 about 20 here and, you now, just those forecasting nerds
6 and people who find forecasting is a happy place, thank
7 you for joining us and providing comments.

8 And to the excellent DAD team, thank you for all
9 the work that you do. And keep moving forward. Thanks.

10 With that, we'll adjourn. Thanks.

11 (Thereupon, the Workshop was adjourned at
12 4:36 p.m.)

13

14

15

16

17

18

19

20

21

22

23

24


25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 10th day of October, 2023.



Chris Caplan
Electronic Reporter

CALIFORNIA REPORTING, LLC

229 Napa St., Rodeo, California 94572 (510) 313-0610

2
3
4
5
6

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520