

DOCKETED	
Docket Number:	23-IEPR-06
Project Title:	Hydrogen
TN #:	252566
Document Title:	Transcript to 9-8-23 for IEPR Commissioner Workshop on the Potential Growth of Hydrogen
Description:	N/A
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/10/2023 4:13:28 PM
Docketed Date:	10/10/2023

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of:

2023 Integrated Energy Policy) Docket No. 23-IEPR-06
Report (2023 IEPR))
_____) re: Hydrogen

COMMISSIONER WORKSHOP ON THE
POTENTIAL GROWTH OF HYDROGEN

REMOTE ACCESS VIA ZOOM

FRIDAY, SEPTEMBER 8, 2023

10:00 A.M.

Reported by:

Martha Nelson

APPEARANCESCOMMISSIONERS

Patricia Monahan, IEPR Lead Commissioner, CEC

Siva Gunda, Vice Chair, CEC

J. Andrew McAllister, Commissioner, CEC

Darcie Houck, Commissioner, CPUC

John Reynolds, Commissioner, CPUC

CEC STAFF

Heather Raitt, Director of the Integrated Energy Policy Report

David Erne, Deputy Director, Energy Assessments Division

Jennifer Campagna, Energy Assessments Division

Quentin Gee, Energy Forecasting Unit, Energy Assessments Division

Jason Orta, Energy Assessments Division

Tomas Ortiz, Hydrogen Refueling Infrastructure, Energy Assessments Division

Peter Chen, Research and Development Division

PANELISTS

Pete Budden, Natural Resources Defense Council

Ilissa Ocko, Environmental Defense Fund

Cary Bylin, California Air Resources Board (remote)

APPEARANCESPANELISTS (cont.)

Tyson Eckerle, GO-Biz

Carlos Koeneke, Mitsubishi Power

Melanie Davidson, San Diego Gas & Electric

Kevin Pease, Pacific Gas & Electric Company

Yuri Freedman, Southern California Gas Company

Randy Howard, Northern California Power Authority

Matt Miyasato, First Element Fuel

Salvador Llamas, AC Transit

Benjamin Happek, Hyundai

Mike Galvin, Port of Los Angeles

PUBLIC COMMENT

Tom Kabat

Claire Broome, 350 Bay Area

Michael Bergey, Distributed Wind Energy Association

Jennifer Hamilton, Deputy Director, California Hydrogen
Business Council

Mikhael Skvarla, California Hydrogen Coalition

Scott Tomashefsky, NCPA

Julia Levin, Bioenergy Association of CA

Tim Sasseen, Ballard Power Systems

Steven Rosenblum, Climate Action California

APPEARANCESPUBLIC COMMENT (cont.)

Jaimie Levin, CTE Berkeley

Serj Berelson, Mainspring Energy

Pinakin Patel, on behalf of Christopher Murphy

Mark Nechodom, WSPA

Jeremy Hayward, Redding Rancheria

McKinley Addy, AdTra, Inc.

INDEX

	<u>PAGE</u>
Introduction	
Heather Raitt, California Energy Commission IEPR Director	7
Opening Remarks from the Dais	
Patty Monahan, 2023 IEPR Lead Commissioner, CEC	8
Siva Gunda, Vice Chair, CEC	
J. Andrew McAllister, Commissioner, CEC	
Noemi Gallardi, Commissioner, CEC	
Darcie Houck, Commissioner, CPUC	
John Reynolds, Commissioner, CPUC	
1. Setting the Stage	17
A. David Erne, CEC	
B. Pete Budden, Natural Resources Defense Council	
C. Ilissa Ocko, Environmental Defense Fund	
D. Cary Bylin, California Air Resources Board	
E. Tyson Eckerle, Go-Biz	
2. Presentations: Approach and Preliminary Results Of CEC Analysis	74
A. Jennifer Campagna, CEC	
B. Quentin Gee, CEC	
Break	103
Opening Remarks from the Dais	
Patty Monahan, 2023 IEPR Lead Commissioner, CEC	
Siva Gunda, Vice Chair, CEC	
J. Andrew McAllister, Commissioner, CEC	
Darcie Houck, Commissioner, CPUC	
John Reynolds, Commissioner, CPUC	

INDEX

	<u>PAGE</u>
3. Panel: Potential Adoption of Hydrogen in Decarbonizing the Electric Sector Moderator: Jason Orta, CEC A. Carlos Koeneke, Mitsubishi Power B. Melanie Davidson, San Diego Gas & Electric C. Kevin Pease, Pacific Gas & Electric Company D. Yuri Freedman, Southern California Gas Company E. Randy Howard, Northern California Power Authority	104
4. Panel: Potential Adoption of Hydrogen in Decarbonizing the Transportation Sector Moderator: Tomas Ortiz, CEC A. Matt Miyasato, First Element Fuel B. Salvador Llamas, AC Transit C. Benjamin Happek, Hyundai D. Mike Galvin, Port of Los Angeles	148
5. Presentation: CEC Funding of R&D Hydrogen Projects E. Peter Chen, CEC	203
Public Comments	215
Closing Remarks	245
Adjournment	250

P R O C E E D I N G S

10:06 a.m.

FRIDAY, SEPTEMBER 8, 2023

MS. RAITT: Well, good morning. Welcome to today's Commissioner Workshop on the Potential Growth of Hydrogen. I'm Heather Raitt, the Director of the Integrated Energy Policy Report, or IEPR for short, here at the CEC. This workshop is being held as part of the Energy Commission's proceeding on the 2023 IEPR.

Today we're doing a hybrid meeting, so we're using Zoom while also meeting in person. So for those in the room, the videos of the presenters and Commissioners on the dais are being broadcast over Zoom. So everything displayed on Zoom is also shown on the screen in the room. And then we'll be using the microphones on the tables for the sound system.

This workshop is being recorded, and a recording will be linked to the Energy Commission's website shortly after the workshop, and then a written transcript will follow in about a month or so.

The schedule and slide decks have all been docketed and posted, and so they're available on the Energy Commission's IEPR webpage. And we also have hard copies available in the meeting room, if anybody would like to look at those, or at the front entrance. And then there's

1 also some signs with QR codes posted that have a link to
2 the materials for the meeting today.

3 So at the end of the day, we invite the public to
4 provide comments. So we'll be doing that at the end of the
5 day, as I mentioned, and we look forward to hearing those.
6 We can take comments from those in the room and also from
7 those who are participating remotely, and we will limit
8 those comments to one person per organization and three
9 minutes per person. And while we look forward to hearing
10 your comments, we will not be responding to any questions
11 at that time.

12 And then, also, there's opportunity to provide
13 written comments, which we also welcome, and those are due
14 on September 22nd.

15 So with that, I will turn it over to Commissioner
16 Patty Monahan for opening remarks. Thank you.

17 COMMISSIONER MONAHAN: Thanks, Heather.

18 I want to first just acknowledge the amazing work
19 of our IEPR team. This is one of many IEPR meetings, and
20 they've done an amazing job. This is, I think, probably
21 the last one of substance for the drafting of the report
22 that will be coming out in the next couple of months. And
23 this builds on the work actually two years, no, last year
24 from the IEPR that Vice Chair Gunda led, where we were
25 exploring the role of hydrogen. And in this year's IEPR,

1 we are required, of course, by legislation to look at it
2 more deeply.

3 And this is, you know, in the context of a lot of
4 work that the Air Resources Board has done on the Scoping
5 Plan in terms of evaluating how do we get to a clean energy
6 economy that's affordable, safe, reliable, all these issues
7 that we at the Energy Commission wrestle with on a daily
8 basis.

9 And we are also -- this is also in the context of
10 the state making a strong play to get a hydrogen hub and
11 the importance of making sure that we get a hub here in
12 California. I think it's clear that we are the leaders in
13 the country in terms of supporting hydrogen, building out
14 hydrogen stations, learning as we go about how do we make
15 sure that we can make stations that work for consumers and
16 that help us reach our goals when it comes to clean
17 transportation and clean energy writ large.

18 So with that context, I think, you know, we are
19 learning what it will take to make hydrogen clean, to make
20 it affordable. And the possibility of the federal
21 government providing, you know, for the first time we have
22 a partner in the federal government writ large on clean
23 energy, and this is the moment for hydrogen, honestly.
24 We've never gotten such good policies to help hydrogen move
25 from infancy into prime time. And I think that's the

1 opportunity that we're exploring. And here at the Energy
2 Commission, I think we have this opportunity to have a
3 conversation that -- and to really discuss these issues in
4 a deep and analytical way.

5 So that's what we're looking forward to today.
6 In the morning, we have sort of a setting the stage with
7 various interests, including GO-Biz and including the Air
8 Resources Board as well as environmental interests. And in
9 the afternoon, we're going to hear a lot from the
10 hydrogen -- from industries that are looking to hydrogen to
11 help them meet their goals.

12 I want to welcome the other members of the dais,
13 some in person, some virtually. My fellow Commissioners,
14 Commissioner McAllister, Vice Chair Gunda, and I think on
15 the line we have Commissioner Houck, I saw.

16 Do we have any other ones, Heather? Is
17 Commissioner Reynolds on the line or --

18 MS. RAITT: I don't think Commissioner Reynolds
19 is joined yet.

20 COMMISSIONER MONAHAN: Okay. All right.

21 Well, I want to pass the mic over to Vice Chair
22 Gunda and the other members of the dais.

23 VICE CHAIR GUNDA: Thank you, Commissioner
24 Monahan.

25 I also want to just thank the IEPR team, you

1 know, Heather and the entire IEPR team for the incredible
2 work they do.

3 Also, just, you know, given that this is one of
4 our last workshops, substantive workshops in IEPR, I
5 think --

6 (Laughter)

7 VICE CHAIR GUNDA: No, for this year, sorry. We
8 are going to call it different and it's just an inside
9 joke. You know, for this IEPR, I just want to kind of
10 elevate one of the core reasons we do IEPR.

11 I think the CEC has this opportunity to be a
12 forum for ideation of thoughts, both, you know, in terms of
13 the opportunities, in terms of solutions, vetting them in
14 the public sphere, and being able to develop
15 recommendations and approaches, you know, for the
16 legislature and the administration. So that's an important
17 role that the CEC plays.

18 And, you know, in keeping with that spirit, I
19 think this is a really important workshop. You know,
20 specifically, you know, over the last three years, we have
21 really been looking at this multi-pronged transition;
22 right? We have been focusing on the transition of
23 electricity. We have seen these huge changes in how we
24 think about the electric grid. But simultaneously, we are
25 looking at the transition in the petroleum industry. As we

1 have high electrification, what does that do to petroleum?
2 And, you know, how do we manage that transition?

3 And the other part of it is the clean molecules,
4 right, the natural gas, the RNG, the hydrogen transition.
5 How do we think about this wholistically from an energy
6 systems point of view?

7 So I think this workshop today, you know, it
8 would be an important, you know, discussion and data point
9 in thinking through that broad strategy that we can lay
10 out.

11 So I, you know, want to thank Commissioner
12 Monahan for her leadership this year, especially the way
13 she approached this IEPR in making it an all-California
14 report, bringing in all agencies together on this, and
15 taking the time to really have the agencies talk through
16 every workshop and debrief on those items. So thank you,
17 Commissioner Monahan, for your leadership, and Ben in your
18 office, for your leadership, Ben.

19 And with that, I'll pass it back to you.

20 COMMISSIONER MCALLISTER: All right. Well, the
21 problem with going last here on the Commission side is
22 that, especially with such articulate colleagues, there's
23 not much to add.

24 But I did want to just highlight the IEPR itself.
25 I mean, really, California is unique in a whole bunch of

1 ways. But I think having this for -- this platform that is
2 public, that feeds our processes, and feeds our various
3 processes, you know, across all the different topics that
4 we wrestle with at the Commission and across all the
5 agencies, that sort of convening power of the IEPR is, I
6 think, really quite unique and very -- and formidable. It
7 makes our policy -- it gives our policy development
8 gravitas.

9 And I think, again, I just want to thank
10 Commissioner Monahan for all her leadership this year on
11 all the different topics, interconnection, and just the
12 range of interconnected and complex topics that this IEPR
13 has wrestled with.

14 So, you know, I think hydrogen is really the new
15 area. You know, we have a lot of known technologies and we
16 have a lot of incremental improvement across the board in
17 many technologies. Last week, you know, we were down,
18 Commissioner Gallardo and Chair Hochschild and I were down
19 in Imperial Valley talking about geothermal. And, you
20 know, that's an important resource the PUC has called out
21 and procurement going forward. But many technologies, you
22 know, in a lot of ways are kind of off the shelf at this
23 point with incremental efficiency improvements, but they're
24 known.

25 And I think the ecosystem for hydrogen is a

1 little bit unique in that, of course, there is an existing
2 ecosystem adjunct largely to oil and gas, but the uses
3 we're talking about for hydrogen are new and innovative.
4 And I think in that way, this conversation really is at the
5 frontier. And we've called out, you know, in forecasting
6 and planning, the need for clean, firm resources on the
7 electric grid. You know, the transportation sector
8 obviously is growing, is expanding into just really
9 uncharted territory really quickly.

10 And so I think this conversation is super
11 important, especially in the context that Commissioner
12 Monahan articulated with the hydrogen hub. And, you know,
13 totally agree that I think the -- you know, arguably
14 California is, you know, the only sort of ecosystem that is
15 truly a hub. And it's really built, you know, has so much
16 involvement, stakeholder involvement, which I think is the
17 hallmark of our processes generally.

18 So I think there's just so much sort of meat on
19 the bones here to talk about, but also lots of sort of
20 development frontier for innovation that is super exciting,
21 so -- and a fair number of unknowns. I mean, I think as we
22 count the electrons and the molecules, one thing I would
23 just, you know, ask us all to keep in mind is let's try to
24 be rigorous with tracking them back to the fundamentals of
25 climate change, which, you know, it really matters,

1 actually, where the molecules come from and where the
2 electrons that are related to those molecules come from.
3 And those, you know, the nature doesn't care, you know,
4 about the accounting. It's really just fundamental basic
5 principles.

6 And so I just, you know, as we move through this
7 and all the other conversations that are related, let's try
8 to, you know, kind of hold ourselves to that standard
9 where, you know, zero means zero. So I think I tend to
10 approach this from an engineering perspective a little bit.
11 But, you know, it requires discipline to sort of keep
12 there, so -- but we, you know, we have a trajectory that
13 we're all here to help plan. So I'm excited to get the
14 conversation going.

15 Thanks very much.

16 And I think Commissioner Houck online, the mic is
17 yours.

18 COMMISSIONER HOUCK: Thank you. And I also want
19 to recognize Commissioner Monahan's leadership on the IEPR
20 and the CEC and all of the IEPR staff for their work. Very
21 much looking forward to hearing the discussion today.

22 I want to also recognize the work CARB and GO-Biz
23 are doing. Hydrogen is going to be an important tool and
24 component of us meeting our clean energy goals. And again,
25 very much looking forward to hearing from all the

1 presenters today and seeing how we can move these efforts
2 forward in a way that's going to help enhance and ensure
3 that we get to our clean energy goals as set out in SB 100.

4 And thank you again for including us and looking
5 forward to a robust discussion this morning.

6 COMMISSIONER MONAHAN: And I would be remiss not
7 to say two things. One is that I have a partner.
8 Everybody keeps congratulating me and thanking me, but
9 really Vice Chair Gunda has been my thought partner all
10 along the way, so just want to give a shout out to him.

11 This is, as he said, this is an all-California
12 approach. So we're not coming at it from a this is the
13 Energy Commission, we're trying to come at it from a this
14 is California energy agencies working together. So it's
15 been a deep collaboration with the Public Utilities
16 Commission and with CAISO.

17 And also I want to call out Ben Wender, my
18 advisor, who has really been working so hard on this year's
19 IEPR it's been a labor of -- an intense labor, I don't want
20 to say of love, maybe just of labor of learning maybe is a
21 better way to articulate it. And the whole team, Quentin
22 on the transportation side and David Erne who has been
23 really just a leader on all fronts. Like this has been an
24 all-hands-on-deck process.

25 So with that, I'm going to turn it over to

1 Heather to lead to help like -- maybe I'm just turning it
2 over to David to set the stage?

3 MS. RAITT: Yeah, go ahead. David Erne is our
4 Deputy Director for the Energy Assessments Division. He'll
5 go ahead and help us get going on setting the stage.

6 Thanks, David.

7 Thank you, Commissioner.

8 MR. ERNE: Okay. Sorry about that. Good morning
9 Commissioners, both here -- and Vice Chair, both here and
10 on -- joining us virtually, as well as all of our
11 participants here in the room and those who are online.
12 Thank you for joining us today for this workshop. By the
13 way, I'm David Erne, Deputy Director of the Energy
14 Assessments Division.

15 And I want to say that this is really, as
16 Commissioner Monahan pointed out, this is kind of a follow-
17 on or a continued discussion on hydrogen. We had a pretty
18 substantial volume in last year's IEPR on hydrogen and a
19 similarly strong workshop to talk about the opportunities
20 and challenges around hydrogen for the state. And we're
21 going to continue that in the conversation today about
22 those opportunities and the challenges that we need to
23 overcome to make this a solution for us, for the state.

24 It's being driven by a Senate Bill 1075, which
25 has two requirements, two broad requirements. One is for

1 the CEC, and that is to model the potential for hydrogen in
2 the electric and transportation sectors. And it also has a
3 pretty substantial requirement for the Air Resources Board,
4 in consultation with CEC and CPUC, to conduct an analysis
5 and help shape policy recommendations for the use of
6 renewable hydrogen, and also strategies to support hydrogen
7 infrastructure for the state.

8 And that, that analysis is ongoing. It was
9 actually kicked off earlier this week in a workshop that
10 CARB held to pull that together. And I want to point out
11 to the points that were made on the dais about the cross
12 agency coordination. So it involved Air Resources Board,
13 CEC, CPUC, GO-Biz, all participating in that event to
14 ensure that we are kind of bringing the best and the
15 particular perspectives from each of the agencies together
16 for these analyses.

17 Today, we're going to provide an overview, a very
18 preliminary overview of the technical analysis that's been
19 conducted for the electricity and transportation sectors.
20 This is a first bite at the apple, if you will.

21 So the SB 1075 requires two analyses this year,
22 in this year's IEPR, and then in 2025, and so we'll have a
23 preliminary analysis today. We're going to continue to
24 iterate on that, build on it, and have another analysis in
25 2025.

1 The 2025 analysis will be improved by the fact
2 that we will have also gone through a substantial amount of
3 analysis for SB 100. That report is due in early 2025. So
4 we're going to continue this analysis, make it more robust
5 to the SB 100 process, and then also conduct more analysis
6 for the 2025 IEPR.

7 Before I walk through our agenda for today, I
8 just want to put some things in perspective.

9 The state is transitioning from -- to meet its
10 clean energy goals established in SB 100, it requires us to
11 bring on a substantial amount of clean energy resources for
12 the state to meet those goals by 2045 to reduce our
13 greenhouse gas emissions and improve our air quality and
14 public health.

15 At the same time, we're confronting climate
16 change, which is making things a little more challenging,
17 both from a perspective of the substantial variability of
18 weather patterns, which is causing wildfires and more
19 prolonged heat events, droughts, et cetera, that we have to
20 address, so it's making it more difficult.

21 In addition, we have issues with the existing
22 resources that we are procuring, clean energy resources,
23 supply chain issues, interconnection, and permitting delays
24 that are causing those resources to be a little bit more
25 challenging to bring online. What this means is we need a

1 wider and greater diversity of clean energy resources to
2 draw upon to help us meet that 2045 goal, to reduce our
3 greenhouse gas emissions, to reduce our reliance on fossil
4 fuels to help us get to that position.

5 And so we need to identify, though, where
6 hydrogen will provide us the greatest value and kind of
7 hone our investments, hone our efforts to kind of bring
8 those to fruition, to bring down the cost of hydrogen, make
9 those more valuable for electricity sector, industrial
10 sector, transportation sector as examples.

11 So in covering that for today's workshop, we're
12 going to be covering a number of those topics from a broad
13 perspective.

14 Our first session will be a combination of
15 panelists that will talk about setting the stage, giving us
16 perspective on hydrogen from a national perspective to a
17 very focused California perspective. That will be
18 participants from Natural Resources Defense Council,
19 Environmental Defense Fund, Air Resources Board, and GO-
20 Biz.

21 We going to follow that with presentations from
22 CEC staff who will provide an overview of both the
23 electricity sector and the transportation sector
24 preliminary analysis we've done for 1075. That will round
25 out the morning.

1 In the afternoon, we have two panels and a
2 speaker. The first panel will give us an overview of
3 potential for hydrogen in the electricity sector, so we'll
4 have panels talking specifically about that. And then
5 another panel will focus on the transportation sector. And
6 then we'll follow that up with a staff presentation on
7 CEC's efforts around funding R&D to support the
8 understanding of the value for hydrogen and ways to bring
9 down the cost of hydrogen.

10 After that, we'll have -- we'll have Q&A after
11 each session and opportunity for public comments at the end
12 of the day.

13 So before I turn to the first series of speakers,
14 I do want to say thanks to our Commissioner Monahan and
15 Vice Chair Gunda for their leadership on this topic.
16 They've really been helping the staff hone and shape the
17 analysis, understand the broader perspective in the state,
18 and helping us bring a more robust analysis to the IEPR
19 this year, and also helping us strategize about ways we can
20 further evaluate that for SB100, and also for 1075 and
21 2025. So thank you very much for all of your help and
22 vision helping us with this process as we're working
23 through it.

24 So with that, I'm going to introduce speakers one
25 by one.

1 The first speaker I'm going to bring on is
2 virtual, is Pete Budden. He leads NRDC's state and
3 regional level hydrogen policy work, and I'll turn it to
4 him for his presentation.

5 MR. BUDDEN: Hi, everyone. Thanks very much for
6 having me. As David said, I'm Pete Budden with the NRDC.
7 I'm very pleased to be with you all this morning.

8 Move to the first slide, please.

9 I'd like to start with this image -- oh, we can
10 go back to the image -- which is just, it's a narrow path,
11 but it's a path we have to cross. This represents the path
12 of developing hydrogen. There's actually some big risks
13 along the way that we have to be careful to avoid, but a
14 lot of opportunity at the end. And it's also a very
15 necessary resource for us to develop, so it's a path we've
16 got to cross.

17 So next slide, please.

18 Quickly, to cover the outline of my talk, I'm
19 going to cover hydrogen applications and how I think we
20 should prioritize different applications of hydrogen, given
21 it's the scarce resource. Then I'm going to give some
22 national context on electrolytic production and the
23 necessary guardrails around electrolysis. And finally, I'm
24 going to give some examples from other states of what's
25 going on with hydrogen.

1 So next slide, please.

2 So hydrogen applications.

3 If we go to the next slide.

4 Hydrogen can technically be used in almost
5 anything where we use fossil fuels today. That includes
6 heating buildings, electricity generation, heavy industry,
7 and a variety of transportation uses. But it's important
8 to note that just because you can use hydrogen for a
9 certain use definitely doesn't mean that you should. And
10 in almost every case where it's possible, electrification
11 is going to be both more cost effective and a more
12 efficient use of our resources.

13 Next slide.

14 A good example of this is heating buildings. It
15 would take approximately five times as much deployment of
16 renewable energy, that's wind and solar or anything else,
17 to heat homes by green hydrogen than it would by heat
18 pumps. And that's because of the inefficiencies of
19 converting renewable energy to hydrogen and then burning it
20 compared to directly using electricity.

21 Next slide.

22 Given hydrogen is a scarce resource, it's really
23 important that we have a good hierarchy of where it should
24 be used. And there is now a strong consensus around what
25 counts as a good high-value use and what doesn't. You can

1 see the high-value uses in the top right here, placing
2 fossil hydrogen in chemicals and refineries, using hydrogen
3 in heavy industry like steelmaking, international shipping,
4 long-haul aviation, these are all really good uses of
5 hydrogen.

6 On the other hand, you've got things like
7 residential heating, passenger vehicles, low and medium
8 temperature heating. These are things we can do much more
9 efficiently with direct electrification.

10 Next slide, please.

11 Specifically in California, I want to note
12 there's a variety of opportunities to use hydrogen where it
13 can be a real climate solution. Those include replacing
14 existing gray fossil hydrogen.

15 Long-distance shipping and aviation in
16 particular, I want to note that that's shipping but not
17 necessarily all of the ports operations. And we really
18 want to make sure that we don't use hydrogen as an excuse
19 to delay electrification of any port operations.

20 High-temperature heat for industry, potentially a
21 subset of long-distance heavy-duty trucks. But, again, I
22 want to note that electrification is developing quickly in
23 that area as well and will have a role to play.

24 And finally, long-duration energy storage to
25 provide dispatchable, clean, firm power. But there is an

1 issue around air quality with this around NOx production.

2 Next slide.

3 We know that burning hydrogen to create
4 electricity does produce NOx. And blending hydrogen into a
5 gas turbine, as shown in this figure on the right here,
6 increases the amount of NOx relative to just burning
7 natural gas. That's obviously unacceptable for our
8 communities that are overburdened by air pollution.

9 And so we need more research and data on both
10 controlling combustion conditions and the after-treatment
11 of exhaust gases, which are the two mechanisms we have to
12 control NOx. We need to understand the potential to reduce
13 NOx from burning hydrogen before we deploy it in our
14 communities.

15 Next slide, please.

16 So now onto hydrogen production. I'm going to
17 talk about electrolytic production, and the most important
18 thing in this space right now is the national conversation
19 around the IRA's production tax credit, also known as 45V.
20 This graph shows you that if you can reduce the production
21 emissions of your hydrogen from the status quo gray
22 hydrogen of 10 kilograms on the far right of this graph
23 down to below 4, then you get -- you're eligible for the
24 tax credit. And the big prize in the top left of the graph
25 is if you can reduce to below 0.45 kilograms of CO2 per

1 kilogram of hydrogen, you can earn \$3.00 per kilogram of
2 hydrogen, which is a huge incentive considering hydrogen is
3 sold for about \$1.00 a kilogram today.

4 Next slide.

5 The way to reach that really low carbon intensity
6 is generally going to be through electrolysis.

7 Electrolysis is the process of using electricity to break
8 the bonds in water molecules to create hydrogen and oxygen,
9 but this is extremely energy intensive. To create the 10
10 million metric tons of clean hydrogen the DOE is targeting
11 for 2030, it's going to require 500 terawatt hours, which
12 is more than the energy generation of the state of Texas.

13 So that's a huge amount of clean energy. And as
14 Commissioner McAllister pointed out, it's incredibly
15 important that we track those electrons and make sure that
16 we're doing this in a truly clean way.

17 Next slide.

18 It's really clear that if we don't do this,
19 there's a big risk of increasing emissions from our
20 electricity sector and blowing way past the 0.45 kilogram
21 limit. If you were to power your electrolysis by the
22 average grid in the U.S. today, you would be not only 40
23 times over the limit for achieving your \$3.00 per kilogram
24 tax credit, but you'd be twice as dirty as the incumbent
25 gray hydrogen. Electrolysis is just very, very energy

1 intensive, so it's very important we make sure all the
2 energy going into it is clean.

3 Next slide.

4 And the system that we need to achieve that, the
5 system that we need, of guardrails that we need -- if we go
6 to the next slide -- is known as -- there are guardrails in
7 particular, they're known as the three pillars, and these
8 are required to make sure that the power we have going into
9 our electrolysis is squeaky clean and make sure that 45V
10 tax credit doesn't act as a perverse incentive that
11 increases emissions.

12 Next slide.

13 The first pillar is new clean supply, also
14 referred to as additionality. This is making sure that we
15 don't divert existing clean resources that are currently
16 contributing to decarbonizing the grid towards hydrogen and
17 do nothing to fill the gap that they leave. Because right
18 now, in general, most of the time the marginal resource on
19 our grid that can ramp up when there's a new load will be
20 fossil fueled. And if we don't have a new clean supply
21 requirement for our hydrogen production, then the load of
22 the hydrogen production will generally be met by fossil
23 fuels.

24 Next slide.

25 The second pillar is hourly matching. This means

1 that you have to match your new clean supply to your energy
2 use on an hourly basis. It means you can't run your
3 electrolyzer in the middle of the night and claim to use
4 solar energy to do so, because in reality, the energy
5 that's being used will be fossil fueled. And there's
6 research from many groups, including some from MIT shown
7 here, showing that the emissions consequences of annual
8 matching are far worse than from hourly matching.

9 Next slide, please.

10 The third pillar is deliverability, and this is
11 similar to hourly matching, but in a geographic sense, you
12 have to match up geographically where you're producing and
13 using electricity. Otherwise, it could be behind the
14 transmission constraint, and then you wouldn't truly be
15 delivering that energy to your electrolyzer. In this case,
16 you would be turning on a fossil fuel resource closer to
17 the electrolyzer to meet that load. And again, that would
18 result in increased emissions.

19 Next slide, please.

20 There's been a lot of talk, especially from
21 industry, that the three pillars will stifle growth, but
22 we've seen the EU commit to these three pillars, and their
23 pipeline of projects has only grown since then.

24 Next slide.

25 We also have really good modeling from a variety

1 of groups. This is from Evolved Energy Research, showing
2 that the three pillars, which is the middle column in red,
3 compared to the limited requirements, which is relaxed
4 rules without the three pillars, they show similar
5 deployment of electrolyzers, ample deployment to enable the
6 cost reductions that are really the goal of this production
7 tax credit. We want to bring down the cost of
8 electrolyzers, and that means scaling up manufacturing, and
9 we can do that with these climate guardrails.

10 Next slide.

11 There's also a bunch of other negative
12 consequences to relaxed rules that don't include the three
13 pillars. Consumer energy costs will increase. It will
14 undermine the credibility of the industry. And it won't
15 incentivize the correct most modern flexible electrolyzers
16 that can ramp up and down with the availability of clean
17 energy. It will instead result, likely, in a lot of
18 Chinese-made inflexible alkaline electrolyzers that are a
19 bit cheaper, but they don't have the ability to ramp up and
20 down with the availability of energy.

21 Next slide.

22 Finally, I just want to touch on some
23 developments in other states that I think are relevant
24 here.

25 On the production front, these three pillars that

1 I've just mentioned have been put into law in Colorado
2 around their end-use tax credit, and introduced in a bill
3 in Pennsylvania that's currently being considered. And
4 then on the production side -- I'm sorry, the end-use side
5 that I started on, all of those states have made clear that
6 there's a hierarchy of end uses, and public subsidies
7 should really be directed only at these high-value end
8 uses, so not light-duty passenger vehicles and not
9 buildings.

10 With that, that's the end of my slides, I think,
11 so thank you again for listening, and I'm happy to take
12 questions. I'm not sure if we're doing them now or at the
13 end of the panel.

14 MR. ERNE: We'll actually do questions at the end
15 of the panel, so thank you for your presentation. I
16 appreciate your overview from a national perspective.

17 Next, we'll go to Ilissa Ocko, who's a climate
18 scientist at the Environmental Defense Fund, to provide her
19 presentation.

20 Are you able to join us, Ilissa?

21 MS. OCKO: Yes, I'm here. Thanks for having me.

22 MR. ERNE: Wonderful. Thank you.

23 So hi, everyone, and thank you again to the
24 organizers for inviting me. I'm Ilissa Ocko. I am a
25 climate scientist at Environmental Defense Fund. And today

1 I want to talk about how to maximize the climate benefits
2 of hydrogen systems and share some of the hydrogen science
3 work that my team at EDF has been doing over the past
4 several years.

5 For those of you who aren't familiar with
6 Environmental Defense Fund, we are a global environmental
7 nonprofit rooted in science, and we focus on averting the
8 climate crisis using a combination of rigorous science,
9 economics, law, and partnerships.

10 And a quick note before I dive in, I want this
11 presentation to also be a resource, so you'll see that
12 there's a lot of supporting information on the slide that
13 I'm not going to read verbatim, but I wanted the deck to be
14 shareable and standalone, so I wanted all that information
15 in there.

16 Okay, next slide.

17 So the main message that I want to get across
18 today is that hydrogen systems are not inherently climate
19 neutral, and there are many climate risks that are
20 associated with hydrogen. So in order to ensure the
21 climate integrity of hydrogen systems, there are dedicated
22 efforts that need to be taken.

23 So you can divide these climate risks into three
24 categories, production, management, and use. Pete already
25 discussed in detail challenges associated with production

1 and use, so I'm going to focus today on the challenges with
2 hydrogen management.

3 But the key point I want to emphasize on
4 production is that there is no hydrogen production method
5 that is universally beneficial to the climate, so we need
6 to be careful to do it right.

7 And the key point I want to emphasize on
8 management is that hydrogen is a leak-prone gas that warms
9 the climate, and so we really need to minimize emissions in
10 order to maximize climate benefits.

11 And finally, the key point I want to emphasize
12 with hydrogen use is that in many cases, as Pete said,
13 there are better options available. So for example, we
14 should not pursue hydrogen for applications that can be
15 easily electrified.

16 Next slide, please.

17 So just briefly, a bit more about climate risks
18 from hydrogen production. I want to reiterate Pete's point
19 that using renewable electricity to make hydrogen can delay
20 decarbonization goals if the renewable energy would
21 otherwise have gone into the power grid. And this is why
22 hourly matching and ensuring additional renewables is
23 really critical.

24 In terms of biogas, using biogas to produce
25 hydrogen can also increase greenhouse gas emissions through

1 a variety of different ways. So we have to make sure we
2 only use waste biomass that has no other use or
3 recyclability in order for it to be really beneficial to
4 the climate.

5 And a major concern of using fossil gas with
6 carbon capture is that carbon capture does not address the
7 issue of methane emissions.

8 Next slide, please.

9 So for hydrogen management, the risk here is that
10 when hydrogen is emitted into the atmosphere, it warms the
11 climate. And hydrogen can easily escape because it is the
12 tiniest molecule in existence. But we have no data on how
13 much hydrogen currently is emitted into the atmosphere from
14 infrastructure. And it turns out that the sensor
15 technology capable of those measurements isn't even
16 available. And we have a major reason for concern based on
17 what we know about the natural gas system and leakage.

18 So in terms of warming impacts, hydrogen is
19 classified as an indirect greenhouse gas because its
20 breakdown in the atmosphere increases the amounts of other
21 greenhouse gases. And hydrogen's chemistry and warming
22 effects have actually been studied for decades. And a
23 recent study even concluded that we now have high
24 confidence in hydrogen's warming effects and our
25 understanding is robust enough to be used in decision

1 making.

2 Next slide, please.

3 So the bottom line here is that the amount of
4 hydrogen emissions is unknown. But there is scientific
5 consensus that hydrogen emissions cause global warming.

6 Next slide, please.

7 So for those that are interested in how hydrogen
8 warms the climate, it's due to this one chemical reaction
9 that occurs in both the lower and upper atmosphere.

10 Next slide.

11 And this reaction leads to increases in the
12 amounts of methane, ground level ozone, and high-altitude
13 water vapor, which are all greenhouse gases that warm the
14 climate.

15 Next slide.

16 And the latest science suggests that the global
17 warming potentials of hydrogen are 37 for a 20-year period
18 and 12 for a 100-year period. And the reason that the 20-
19 year value is higher than the 100-year value is because the
20 three greenhouse gases that hydrogen affects are all short
21 lived. So hydrogen's warming effects are highest in a
22 couple of decades after its emission, which is very similar
23 to methane, for example.

24 Next slide.

25 So how serious of an issue this is depends

1 entirely on how much hydrogen is emitted.

2 Next slide.

3 And we know that hydrogen can be emitted
4 throughout the entire value chain, both intentionally
5 through operational processes and also unintentionally
6 through leakage.

7 Next slide.

8 And our research team recently published a paper
9 that consolidated all of the reported ways in which
10 hydrogen can be emitted at every stage of the value chain.

11 Next slide.

12 And we synthesized all estimates in the published
13 literature on how much hydrogen is emitted. And the key
14 point here is that it could be really high, up to 10 or
15 even 20 percent of the hydrogen may be lost to the
16 atmosphere for some components of the value chain. But the
17 reality is that we just don't have empirical measurements
18 from real world facilities to confirm or deny any of these
19 values.

20 Next slide.

21 We also published a paper last year that looked
22 at what the climate implications of hydrogen emissions are
23 for different levels of emissions. And so we looked at a
24 general case where a fraction of fossil fuel systems were
25 replaced with either blue or green hydrogen alternatives.

1 Next slide.

2 And what we found is that the climate benefits of
3 hydrogen can be severely undermined with upper end
4 estimates of hydrogen emissions, especially in the
5 following decades.

6 Next slide.

7 The good news though is that there are a number
8 of actions we can take to address this issue, especially
9 because the hydrogen industry is in its infancy. And so we
10 have an opportunity to get ahead of this problem and
11 minimize it in the future.

12 So we need to develop the sensor technologies
13 that are capable of measuring hydrogen emissions site wide.
14 And I'm happy to report that there is one instrument we
15 know of that's in development by Aerodyne that can do this.
16 And we then need to go out there and measure emissions. We
17 need to determine how to effectively mitigate emissions.
18 We need emissions programs eventually that are similar to
19 what we do now for natural gas leakage. And we also need
20 to include emissions risks and decisions, which we can do
21 starting today.

22 Next slide.

23 So EDF in particular is working really hard to
24 determine how much hydrogen may be emitted now and in the
25 future. And we are in the early stages of developing a

1 measurement campaign with a number of academic
2 institutions, and also industry, to start collecting this
3 data.

4 Next slide.

5 So Pete went into concerns with hydrogen use and
6 best uses for hydrogen, so I just want to make this one
7 point. Right now we often rely on tools like life cycle
8 assessments or energy models to tell us how beneficial a
9 specific technology or process is. But keep in mind that
10 standard LCAs and energy models do not include the warming
11 effects associated with hydrogen emissions, and they rarely
12 look at near term warming effects.

13 So we need to start including these aspects in
14 our decision making tools, because otherwise we are
15 overestimating the climate benefits of hydrogen systems
16 which could lead to us not making the best decisions for
17 optimizing climate benefits of any decarbonization strategy
18 that we pursue.

19 Next slide, please.

20 So thank you all so much for listening. This is
21 the same as the first slide and I'm happy to follow up with
22 anyone individually on any of these key challenges and
23 solutions. And I'm looking forward to the Q&A after all
24 the panelists are done speaking.

25 And next slide is just a few of the references

1 that I mentioned in this presentation, which should be
2 available where you can find the slide deck.

3 Thank you all so much.

4 MR. ERNE: Thank you, Ilissa. I appreciate your
5 overview, as well as Pete's, on some of the challenges,
6 particularly on the environmental side, and some
7 opportunities for how we can be thinking about this moving
8 forward.

9 So slightly pivot at this point and talk a little
10 bit about how we can create strategies and create
11 approaches that can help us think through the right and
12 most appropriate ways to move forward.

13 So with that, I'll turn to Cary Bylin, who is
14 from the California Air Resources Board. She's the Manager
15 of Industrial Strategies Division and she'll provide an
16 overview of work that CARB has done, both from the Scoping
17 Plan, as well as 1075 preparations.

18 So I'll turn it over to you Cary.

19 MS. BYLIN: Thank you so much David, and hello
20 everybody. I'm very glad to be here. Thank you for the
21 invitation.

22 So I'm going to be talking mostly about SB 1075
23 and the work that CARB will be doing under SB 1075. But as
24 has been mentioned, a lot of this work is guided, you know,
25 in part by the Scoping Plan. So I just want to give a few

1 brief remarks about our Scoping Plan to set context for
2 those who may not be familiar.

3 So the 2022 Scoping Plan update was finalized in
4 last December. And the Scoping Plan is an actionable plan
5 that lays out a cost-effective and technologically-feasible
6 path to ensure that we meet the statewide greenhouse gas
7 reduction targets in a way that is consistent with all
8 existing directives.

9 We don't need to go to this slide yet, but it's
10 fine.

11 So after each Scoping Plan is adopted, CARB and
12 the other state agencies start the process of reviewing and
13 updating related programs or developing new programs to
14 align with any outcomes identified in the Scoping Plan. So
15 that's just to say that, you know, in addition to the
16 direction provided by the legislature in SB 1075, that we
17 will also be looking to our Scoping Plan for the direction
18 that it provided on our future goals of meeting carbon
19 neutrality and other greenhouse gas reduction goals.

20 Okay, next slide.

21 All right, so as mentioned, the 2022 Scoping Plan
22 update lays out a path to California achieving carbon
23 neutrality by 2045. And with such an ambitious target, the
24 plan emphasizes employing all tools available to reduce
25 greenhouse gas emissions and remove carbon dioxide from the

1 atmosphere. This will require a deployment of a broad
2 portfolio of existing and emerging fossil fuel alternatives
3 to achieve deep decarbonization across multiple sectors of
4 the economy.

5 And as has been mentioned, while electrification
6 is poised to play a significant role in California
7 strategy, the Scoping Plan also calls for accelerating the
8 transition from combustion of fossil fuels to hydrogen,
9 including as a fuel for ocean going rail, air and road
10 transport, and as a non fossil energy resource in the
11 industrial sector.

12 The 2022 Scoping Plan update envisions
13 significant growth of low-carbon hydrogen. And we
14 anticipate the need to rely on multiple hydrogen production
15 methods to provide the needed supply.

16 We will seek to leverage federal funding and
17 other incentives to achieve this growth in hydrogen
18 production, distribution, and use. And doing so can yield
19 significant beneficial impacts on greenhouse gas and local
20 air pollutant emissions from hydrogen end use relative to
21 fossil fuels.

22 In addition, reducing the use of fossil natural
23 gas will reduce methane emissions, which is a short-lived
24 climate pollutant with an outsized impact on near term
25 climate change.

1 And to the extent possible, we also want to
2 prioritize non-combustion options for hydrogen use to help
3 the state meet its air quality goals.

4 Next slide.

5 The current state and federal policy landscape
6 provides a critical opportunity to expand hydrogen
7 production and use in California.

8 At the federal level, the Biden administration is
9 committing to and prioritizing a clean energy future and
10 providing resources needed to deploy effective programs and
11 strategies through efforts that include the Department of
12 Energy's Regional Clean Hydrogen Hubs Program and the
13 Inflation Reduction Act 45V Hydrogen Production Tax Credit.
14 These investments will catalyze the development of carbon
15 free energy and fuels, accelerate industrial
16 decarbonization, improve energy security, create jobs and
17 help communities benefit from clean energy investments.

18 The federal efforts are a strong complement to
19 California's actions, which include Governor Newsom's
20 recently announced hydrogen market development strategy,
21 which will take an all-of-government approach to building
22 up California's renewable hydrogen market, and ARCHES, a
23 public-private partnership tasked with establishing a
24 hydrogen ecosystem that drives down the cost of renewable
25 hydrogen while increasing renewable energy penetration and

1 achieving our net-zero and carbon goals on an accelerated
2 schedule.

3 These efforts are supported by regional and local
4 initiatives, such as Angeles Link and Lancaster Hydrogen
5 City. And CARB also has several complementary regulations,
6 including the Low Carbon Fuel Standard, Advanced Clean
7 Fleets, and Advanced Clean Trucks to increase zero emission
8 vehicle and hydrogen deployment.

9 And as has been mentioned, and as the topic of my
10 talk today, in consultation with our agency partners and
11 via a public process, CARB will be doing additional
12 analysis and making recommendations under SB 1075.

13 Next slide.

14 So despite strong momentum and alignment of state
15 and federal opportunities, there is still much work ahead
16 to achieve the needed expansion of hydrogen production and
17 use in California. This includes alignment of local
18 actions to support state and federal air quality and
19 climate goals and to leverage state and federal funding
20 opportunities.

21 To meet the state's air quality and climate
22 goals, we need more infrastructure to support hydrogen
23 production and use and need to align local permitting
24 actions with the scale of the current opportunity.

25 Additional funding and regulatory efforts are also

1 needed to support expansion of low carbon hydrogen supply
2 and non combustion uses.

3 State and federal market signals should also spur
4 private sector investment.

5 Lastly, we need further policy and technical
6 evaluation to support increased hydrogen production and
7 deployment, including analyses of water and air quality
8 implications.

9 And in recognition of these important needs, last
10 year, the legislature passed SB 1075.

11 Next slide.

12 SB 1075 requires CARB, in consultation with
13 California Energy Commission, California Public Utilities
14 Commission, California Workforce and Development Board, and
15 other partner agencies to produce a comprehensive report on
16 hydrogen by June 2024.

17 Next slide.

18 So SB 1075 directs CARB, in partnership with
19 these other partner agencies, to conduct a broad range of
20 technical, market, and policy analyses that will support
21 hydrogen production and use across many sectors of the
22 economy, including those that are most difficult to
23 decarbonize. So these analyses will support -- will also
24 support a broad range of other priorities, including air
25 quality benefits and workforce development.

1 And if you'll just forgive me, I'm going to go
2 ahead and list the elements that SB 1075 specifically
3 mentions that we include in this report, and they are
4 policy recommendations regarding the use of hydrogen,
5 strategies to support hydrogen infrastructure, the
6 potential for non-renewable hydrogen to achieve emissions
7 reductions, using the ability to use curtailed electricity
8 for hydrogen production, estimated greenhouse gas
9 emissions, air quality benefits and costs associated with
10 deploying renewable hydrogen, including when compared to
11 alternatives, opportunities to integrate hydrogen into
12 drinking water supply treatment needs, regulatory and
13 permitting processes for hydrogen transmission and
14 distribution, life cycle emissions of various forms of
15 hydrogen production, and air pollution and other
16 environmental impacts from hydrogen distribution and end
17 uses.

18 Next slide. So just wrapping up here.

19 In terms of next steps, we are seeking public
20 input as we begin this analysis. And as has been
21 mentioned, CARB, CEC, CPUC, and GO-Biz participated in a
22 kickoff workshop for SB 1075 work on Tuesday, last Tuesday,
23 September 5th. And there is going to be a written comment
24 period that is open on CARB's SB 1075 website, the link is
25 on there, and we will be taking written comments on that

1 workshop from the public for two weeks until September
2 19th. And we, it's not quite up yet, but we will also be
3 posting at that location a link to the recording of that
4 workshop in case you want to go and take a look at that.
5 So please visit our website or reach out to us at the email
6 that's listed on the slide for more information.

7 That concludes my presentation. I thank you for
8 the opportunity and I look forward to the rest of the
9 discussion.

10 MR. ERNE: Thank you, Cary. Appreciate your
11 overview, a pretty substantial lift required for the
12 analysis for CARB in the 1075.

13 So last but not least, we're going to turn to
14 Tyson Eckerle, who's a Senior Advisor for Clean
15 Infrastructure Mobility at the Governor's Office of
16 Business Development, Business and Economic Development, or
17 GO-Biz. He'll be providing an overview of ARCHES.

18 MR. ECKERLE: All right. Well, thank you. I
19 think it's hard not to be excited about hydrogen at this
20 moment, and so I commend everybody. I think if you take a
21 step back, one thing that we know for certain is it's going
22 to take all of us working together to make this market work
23 in a way that everybody's excited about. So I commend you,
24 the Commissioners, for bringing all the agencies together
25 to focus in on this.

1 If you go to the next slide, I'll just kind of --
2 today, I'm going to try to be brief, but there is a lot to
3 share. And so I want to talk about both the ARCHES
4 application and also the hydrogen market development
5 strategy. And these are complementary activities that
6 they're working together in tandem to both organize, you
7 know, a lot working like in the IEPR context, for example,
8 with the strategy and then implement, you know, kind of
9 through the ARCHES context.

10 And so, oh, yeah, it's telling me to join the
11 audio. Okay.

12 So if you go to the next slide here?

13 I thought it's worth kind of going through ARCHES
14 mission. And so I am, at GO-Biz, I am also part of the
15 ARCHES leadership team, if that makes sense, to help
16 catalyze that for context. But it's a public-private
17 partnership to create a sustainable statewide renewable
18 clean hydrogen market and ecosystem in California and
19 beyond. And I think it's important to focus in on that.
20 So we're really driving towards that economic
21 sustainability and with all the renewable environmental
22 attributes associated with it. And we think we can get
23 there.

24 So it's fully committed to using renewable
25 resources to reduce hydrogen and decarbonizing our regional

1 economy. We have a ton of opportunity to do that. We're
2 prioritizing, you know, environmental justice, equity,
3 economic leadership, workforce development, and market
4 viability.

5 If you go to the next slide?

6 Our goals, you know, it's like it's really
7 between now and 2030. We're trying to get to that economic
8 sustainability in the 2030 timeframe and really kickstart,
9 or I think we should probably start using catalyze instead
10 of kickstart, it's an old term, the commercial viability of
11 hydrogen. And we're focusing in early on the, you know,
12 hard to decarbonize areas at the earliest opportunity.
13 That's ports, it's power, and it's heavy-duty
14 transportation. But that really enables expansion into
15 heavy industry, into aviation, maritime, agriculture. We
16 talked about ammonia (phonetic) earlier and others.

17 And so, you know, currently, you see this in the
18 Scoping Plan, we have about 30 tons per day. We're trying
19 to ramp up to 500 tons per day by 2030, so that's a big
20 acceleration. And we want to make sure through it all that
21 we have -- we're measuring the benefits. You know, the
22 previous presentations was making sure that we're capturing
23 all that. We have robust monitoring and strong
24 accountability to make sure that the hydrogen we are
25 delivering is delivering our carbon neutral renewable

1 economy.

2 And then finally, it's really important to
3 highlight the workforce. So ARCHES is composed. The
4 founding members were GO-Biz, the University of California
5 Office of the President, and all the UCs organized behind
6 it, the State Building and Construction Trades Council of
7 California and a bunch of the unions associated with that,
8 and Renewables 100.

9 If you go to the next slide?

10 The way ARCHES has done, you know, in the context
11 of the DOE application, has pulled together a bunch of
12 stakeholders. So we have our foundational principles. I
13 won't read them all, but, you know, we wanted to make sure
14 it was statewide, it was centered on equity, environmental
15 justice, you know, renewable, clean, green, hydrogen.

16 And then but it's really the core structure is
17 pulling together industry. We have a higher education
18 system, and National Labs have been great, the state, labor
19 and communities to really drive this market forward. And
20 the differentiators were, you know, we were pitching to the
21 DOE, for example, we have infrastructure available. We
22 have lessons learned here in California. We've done it.
23 Our industry is ready to invest. We have offtake
24 opportunities. We can serve as a market catalyst.
25 California leads and the rest of the nation can, it opens

1 the door for the rest of the nation. And we're connected
2 to the communities. And that delivery certainty is the
3 ability to deliver projects.

4 If you go to the next slide?

5 I just want to like take a step back, kind of
6 where we are in that process.

7 So the DOE put out the FOA back in September of
8 2022. That feels like ten years ago now, honestly. And
9 then we had to put the full application in by April 7th.
10 Since then, we've done written questions, we've done an
11 interview, we've done more written questions. I think in
12 all we've submitted about 2,000 pages to DOE. And the
13 selections are expected in the fall of 2023. And, you
14 know, for those keeping score at home, it is fall of 2023,
15 so we're hoping that we hear soon, but that can be delayed,
16 of course.

17 If you go to the next slide?

18 So this is kind of -- I like to describe it, just
19 because it shows kind of the scale. So what we've done is
20 we've tiered the project, so to speak, so there's Tier 1
21 projects. There are 39 projects within the state of
22 California that we believe gives us the best chance to meet
23 those long-term goals and build up that market. But not
24 only that, we have Tier 2 projects that are also viable and
25 fundable, and there are 31 of those after a robust

1 selection process that can come in line. It's like our AAA
2 team, so to speak, but, you know, lots of stack deck of
3 players. And then in Tier 3, we have, you know, a bunch of
4 OEMs and providers and stuff.

5 And so as we're working it through, it is a
6 complex system, but that's part of the thing. With
7 complexity, we can build resilience in this. And so that's
8 kind of the overarching thing. I'll go a little bit into
9 what that system looks like.

10 If you go to the next slide?

11 And I thought it would be worth this kind of
12 walking through the hydrogen flow. Some of you may have
13 seen this before. We talked about it on Tuesday. But
14 essentially, what are the feedstocks? Renewable
15 electricity and biogenic feedstocks.

16 And if you go to the next slide?

17 We want to make sure, you know, that feedstock
18 makes you produce hydrogen, so you need water. Most of the
19 projects have recycled water or water contracts. You have
20 electrolytic production directly connected to renewable
21 resources, also connected to the grid. We have bio
22 hydrogen production with some carbon capture.

23 If you go to the next slide?

24 Then after the production, we have to distribute
25 it. So we have, in the early market especially, it's

1 liquid hydrogen in fuel cell trucks transporting the
2 hydrogen. But importantly, and you'll hear from SoCal Gas,
3 for example, later, pipelines, you know, play a huge role
4 in driving down the cost, but they do take time to build.

5 We have a minimal amount of storage. We really
6 focused in on connecting supply and demand, but that
7 storage can grow. And it's something I think we should
8 think about in the IEPR context, like how important of a
9 role is hydrogen and long duration storage? But for this
10 context, now in 2030, that's where we focus on matching
11 supply and demand.

12 And then that goes to the end use. And the end
13 use is really important -- if you go to the next slide --
14 is really important. So we have, you know, power and
15 transportation and ports. And you'll see these tons per
16 day, I think, were kind of helpful to put in terms of the
17 context. We're trying to get about 500 tons per day.

18 The power generation sector is a really important
19 market catalyst because it can sign an offtake agreement
20 today, you know, and it can -- and that helps drive down
21 the cost, enabling investment in hydrogen into
22 transportation, which takes a little bit longer to develop,
23 as we know from our experience here.

24 And ports is also something that can move
25 relatively quickly because hydrogen is a one-for-one

1 replacement of diesel. It's mobile fueling. And so from a
2 pragmatic perspective, it works to get out there. And you
3 can have great emissions reductions and benefits in the
4 communities.

5 So that's more or less the ecosystem.

6 If you go to the next slide?

7 The idea, you know, communities will benefit.

8 And this is kind of our Andy Warhol graphic. I think we
9 wanted to make t-shirts. We still haven't done that. But
10 you can kind of see, like, in the top left, you have the
11 ARCHES size, so it is statewide. Then we overlaid it, this
12 is real data, with the disadvantaged communities, with low-
13 income communities, and air pollution. And the projects
14 are going in those communities.

15 On the tablet on the right, you know, we have
16 some of the community benefits. I won't go into all of
17 those. But that \$380 million investment down at the
18 bottom, we're making sure that those projects are investing
19 into those communities that they're deploying in.

20 The big one -- the big two I think we want to
21 call out is the close to \$3 billion a year in annual health
22 savings associated with just this amount of deployment, and
23 over 200,000 jobs per year, family-supporting jobs.

24 Okay, if you go to the next slide? And I'm
25 realizing I have to really hurry up.

1 So the hydrogen strategy, this is the press
2 release. You can read it.

3 Go to the next slide.

4 So in that press release, we really talked about
5 our North Star for the hydrogen market development
6 strategy. It's really to leverage hydrogen to accelerate
7 clean energy deployment and decarbonize our transportation
8 and industrial sectors. So I think we can all agree on
9 that that's what we need hydrogen to do.

10 If you go to the next slide?

11 This is a work in progress, the hydrogen
12 strategy, and I think intentionally sketched this because
13 I'm my own graphics department. But if you really think
14 about the why and the when, like we know the why and the
15 when because we need to be carbon neutral by 2045. That is
16 clear. It's in law. The what, you know, is often defined
17 by the 2022 Scoping Plan, you know, that has gone through a
18 bunch of analysis, this is what we need to do. The
19 hydrogen strategy is really focusing on the how and the
20 who. And the more we can answer that question, the more we
21 can focus in on the doing.

22 And so within that, you have the SB 1075 report.
23 What questions do those answer? We have the IEPR. What
24 does that answer? Just making sure that we're all on the
25 same page and rowing in the same direction to pull that

1 market forward. ARCHES has been developing white papers
2 over the course of the year. Those will play a direct role
3 into this.

4 And so it's, really, it's modeled after the ZEV
5 market development strategy, which I think many of you are
6 familiar with. And it's really just, it's all about
7 getting people rowing in the same direction and making sure
8 that we have clear objectives and we have defined
9 stakeholder roles and we all understand each other.

10 And if you go to the next slide?

11 I think this might -- I might have made it. So
12 we had the survey. This is a survey that we put out with a
13 QR code. That's the first time I've done this, and made it
14 myself, and so that's pretty cool. But you can click on
15 the thing. There's a little survey. If you like have any
16 general questions or concerns on the strategy, it's open-
17 ended questions, but we will be rolling out more
18 information. This will be done in direct partnership in
19 collaboration with all of the agencies. We want to make
20 sure we make everybody's job easier, not harder.

21 And so that's what I wanted to share today. I
22 think there's one last slide. It's probably a feel good.
23 Yep, it is. We need that partnership to succeed.

24 So thank you all for the opportunity. Thanks for
25 organizing this.

1 MR. ERNE: Thank you, Tyson. Appreciate that
2 overview.

3 And so I'm going to ask all of our presenters to
4 join us by video and we'll move to the Q&A portion for the
5 panel. So thanks all the panelists.

6 And I'll turn it over to Commissioner Monahan for
7 questions from the dais.

8 COMMISSIONER MONAHAN: Well, first off, I want to
9 thank all the presenters. That was really a great
10 overview. And I think it really sets us up well for the
11 afternoon sessions where we'll dive more deeply into, you
12 know, the perspective of various interests in the hydrogen
13 industrial world, not just industry, but transportation, of
14 course, and electricity generation, all the different ways
15 that hydrogen may play an important role in California
16 going forward.

17 And I wanted to ask a question of Dr. Ocko. You
18 said something I didn't fully grasp where you said that
19 life cycle analysis doesn't include the warming effects of
20 hydrogen. Can you elaborate on that?

21 MS. OCKO: Yeah, absolutely. Hydrogen emissions
22 has not been on many -- on the radar of many different
23 modeling assessments for hydrogen systems. So when I said
24 hydrogen emissions, I mean physically the gas, hydrogen
25 either intentionally emitted to the atmosphere or leaked.

1 I didn't mean emissions associated with hydrogen systems,
2 for example, carbon dioxide and methane. Those emissions
3 are typically included in life cycle assessment models and
4 energy models.

5 But hydrogen emissions themselves and the warming
6 effects just from hydrogen being an indirect greenhouse gas
7 was largely off everyone's radar for several years until
8 recently. And so the tools have not caught up yet and are
9 not including those effects. And therefore, they are
10 underestimating the climate impacts from hydrogen systems
11 because they're not including that warming impact.

12 COMMISSIONER MONAHAN: Thank you. That's really
13 helpful.

14 And then this may be at a disadvantage to all the
15 panelists, but I'm curious about what you would recommend
16 to us in terms of supporting research and data into
17 hydrogen, if you have any specific recommendations for what
18 the CEC can do. I know you're at a disadvantage because
19 you actually haven't heard what we are currently
20 researching. We're doing a fair amount of research in the
21 space of hydrogen, including looking at blending and
22 pipelines, and also NOx impacts from combustion. But just
23 if you have any general recommendations for how you think
24 we could be helpful as an agency and in the writing of this
25 report for this year, we welcome those recommendations.

1 MR. BUDDEN: I mean, from my perspective, I think
2 that the research you've already listed is going to be
3 really helpful, especially on the NOx impacts that I
4 mentioned in my presentation.

5 I think another really important area is the grid
6 impacts that I focus on in such detail. I think for the
7 Commission to really take a hard look at what the
8 implications are for the California grid from different
9 sets of policy guidelines is going to be critical. As I
10 said, the national context is obviously very relevant here.

11 But, yeah, I think those are the biggest areas.

12 MS. BYLIN: And I would say I don't have specific
13 recommendations. We are tracking the work that you all are
14 doing just to make sure that we can stay aligned as we move
15 forward with SB 1075.

16 And for us at CARB, it's been really valuable to
17 have such a strong partnership with CEC. We have been
18 doing, you know, very well-coordinated activities through
19 SB 100, through the Scoping Plan process, and already
20 starting off with the SB 1075 work, both the IEPR work that
21 you're directed to do and the report work that we're
22 directed to do.

23 So I think that has been going really well. And
24 I would just say let's keep going there, well coordinated,
25 as we embark on the 1075 report effort.

1 MS. OCKO: And no surprise here. But my
2 recommendation is to all these projects that you're
3 considering, we really need to incorporate the leakage
4 issue and have it be on our radar for every decision that
5 we make in terms of where we're scaling up infrastructure.
6 Are we building pipelines? Can we co-locate production and
7 use in the same place so we minimize, you know, the
8 distance of the value chain? Making sure we're developing
9 the right sensors that we're going out there and taking
10 measurements of hydrogen emissions that aren't just
11 concerns for a safety perspective, but are environmental
12 concerns as well.

13 And then developing or planning in a lot of these
14 projects for how we will go about doing LDAR and MRV
15 programs, for example, when we start to have the sensor
16 technology available to take measurements. So for those
17 who don't know leak detection and repair, LDAR programs, we
18 do it for natural gas. We need to plan for eventually
19 doing that for hydrogen, and same with MRV in terms of
20 monitoring reporting and verification.

21 So it's really important to start incorporating
22 that into decisions now as we plan and develop these
23 hydrogen systems going forward.

24 MR. ECKERLE: Maybe I would suggest, I think
25 implementation focus, too. Like there's a lot we can learn

1 from actually getting projects into the ground. And I
2 think, you know, the agencies are uniquely positioned to
3 help pull that data and identify and get a shared
4 collective understanding of what it takes to actually get
5 these projects deployed.

6 COMMISSIONER MONAHAN: So I just want to say one
7 quick thing and then I'll pass it over to other members of
8 the dais.

9 But I just want to congratulate Tyson and GO-Biz
10 for your leadership on ARCHES. It's been, I know, just
11 very -- a lot of herding of cats and pretty amazing what
12 you've been able to accomplish so far.

13 So with that, I'll turn it over to Vice Chair
14 Gunda.

15 VICE CHAIR GUNDA: Thank you, Commissioner
16 Monahan. I'm sorry I kind of had to step out for a few
17 minutes there.

18 Just kind of bringing this up a tiny bit to all
19 the panelists, I think one of the, you know, framing of the
20 conversations was this, you know, three-track transition we
21 are going through. And, you know, I think one of the
22 critical issues here with both, like I know for example,
23 Lithium Valley development, the offshore wind, or hydrogen.
24 these are also opportunities for future workforce
25 development, right, our future economic development.

1 And, you know, I think I'm thinking through the
2 steps of how are we -- I mean, each one of you kind of have
3 shared the perspective, you know, for example, specifically
4 on leakage, specifically on the element of grid reliability
5 and the need for more supply. How do we, you know,
6 collectively think of a cohesive strategy? What are some
7 best practices based on previous energy systems; right?

8 I think what I'm kind of recognizing is the need
9 for clean molecules. You know, I think that's well
10 established within the Scoping Plan that we would need some
11 sort of molecules. And moving forward in developing those
12 molecules, what are some, you know, best practices in
13 thinking about how do we think at a systems level, you
14 know, both from the energy transition, but the societal
15 transition jobs? And I think, I know, Cary is going to do
16 this by next summer, but any preliminary thoughts on how we
17 align and develop a cohesive framing on the best practices
18 moving forward?

19 MR. ECKERLE: So I think we have a great
20 opportunity. I think the systems level thinking is key;
21 right? And it's a hard thing to do, right, because the
22 bigger the problem, you know, the bigger the system, the
23 more complexity. But I think we have a big opportunity
24 working through, like we've learned a lot through the
25 ARCHES process and integrating, you know, even more amongst

1 all the state agency efforts. And we're hoping to help
2 bridge that gap with the hydrogen strategy, kind of
3 figuring out, you know, kind of who's doing what and how to
4 do it. But I think that whole system thing is absolutely
5 key.

6 I mean, on the workforce part, you know, the
7 strong partnership with organized labor and the UCs and
8 CSUs and community colleges all matter. But we also, you
9 know, we go out there in the communities, we talk with
10 legislators, and they, you know, they've seen these things.
11 It's easy to say, it's hard to do

12 And so I think that's the thing we have to keep
13 our eye on, making sure that we go and like, you know, even
14 on the community and workforce development, our commitment
15 is to get into the local communities and get jobs to the
16 people who need it most; right? But that takes more
17 effort. It's kind of like electrification takes more
18 effort in areas where the grid is older, right, you know,
19 but it's worth doing.

20 And so I think it's that whole system thing. And
21 that's where I think we have this huge opportunity with all
22 this investment. And it's not just emissions reduction,
23 but it's that job creation that comes from that systems-
24 level thinking.

25 So I'm not sure if I really answered your

1 question or not, but I think I'm just violently agreeing
2 with you in terms of the way we have to think about it.

3 MS. OCKO: Yeah, I totally agree, as well, with
4 the system-level thinking, and we need to be careful. We
5 need to make sure that it's responsible deployment of
6 hydrogen systems, whether that's -- and so we need to
7 consider all the environmental impacts, the climate, air
8 quality, land footprint, water footprint, and then also all
9 the social impacts as well. How this affects different
10 communities. Where are we getting our resources from?

11 And so we need to incorporate all these different
12 parameters into our discussions and decisions about where
13 to best deploy hydrogen, and also do the same thing for all
14 the other alternatives, so that we're taking into
15 consideration all these different aspects and putting it
16 together in a very apples-to-apples way to figure out, you
17 know, what is the best molecule or electron for the job,
18 and how can we do that most effectively.

19 MR. BUDDEN: Yeah, I really agree with that
20 perspective. Obviously, the systems-level thinking is
21 critical here.

22 I would just add that I think for in terms,
23 especially thinking about workforce development, we need to
24 think about building a durable hydrogen ecosystem that is
25 not going to be a flash in the pan. And that means not

1 following down any misleading paths that are going to end
2 up with stranded assets that aren't useful down the road.
3 It means really taking an approach that looks at all the
4 available options, looks at whether the molecules we're
5 going to be using are truly clean or not, and evaluates
6 whether hydrogen should be deployed on that basis.

7 I think there's a real risk of taking some
8 missteps at these early moments and both tarnishing the
9 industry and wasting time and money, which is critical
10 right now. We really need to bring down emissions
11 urgently, and we can't afford to make these mistakes. So
12 we do know what guardrails we need. The evidence is pretty
13 clear that we need guardrails around hydrogen deployment,
14 and there are targeted ways we can do it where it does make
15 sense. And those are the avenues we should follow and try
16 not to be distracted by anything else.

17 MS. BYLIN: And I would agree with what has been
18 said already, and would add on, you know, with the Scoping
19 Plan perspective of, you know, the 2045 carbon neutrality
20 goal, very ambitious goal, relatively short timeframe for
21 what we need to achieve to get there, and therefore, we
22 really are looking at sort of all tools on the table,
23 right, every tool, but implemented sensibly, as has been
24 mentioned.

25 So a lot of that more, you know, deep analysis of

1 the hydrogen specific work will be done through 1075.
2 We're at the very beginning of that. But we will be -- you
3 know, I read that long list of things that the legislature
4 has directed us to include in that report, so we'll be
5 doing -- that's the purpose of this, is to be able to do
6 that deeper analysis, air quality, environmental impacts.
7 All of those things are in our directive, and CARB would be
8 doing that anyway; right? The social impacts, the work
9 workforce development is specifically mentioned in the
10 bill.

11 So, you know, we want to also do this, you know,
12 kind of an all-tools-on-the-table approach thoughtfully,
13 you know, appropriately and rigorously analyzing the
14 impacts. And then also, maybe I'll mention sort of the
15 ability to -- you know, what can be deployed when, right,
16 and the considerations then. Because obviously,
17 electrification is a strong and very valuable tool in
18 achieving carbon neutrality. But, you know, we have to
19 grow the grid significantly with renewable and zero carbon
20 resources and sort of, you know, we're also trying to
21 eliminate fossil combustion as much as possible.

22 So achieving all, you know, kind of what is the
23 best balance for achieving all of these goals?

24 VICE CHAIR GUNDA: Great. Thank you all.

25 I just want to just kind of make one note to

1 David and team as we think through not just this product,
2 but the SB 100 and other pieces. I think one, you know,
3 last time around in SB 100, and I believe Scoping Plan too,
4 the hydrogen production was largely off the grid. You
5 know, kind of like understanding the impacts of that would
6 be helpful, the magnitude and the opportunities as an
7 important data point.

8 And the other element is, I think, demonstrations
9 are a good way, early demonstrations are a good way to
10 gather a lot of this information as we continue to scale.
11 So, you know, whether it's CARB or CEC or together, really
12 kind of, you know, having a tabulation of all the projects
13 we're funding and early lessons for transparency would be
14 really helpful, both on the benefits and the challenges
15 that we have to continue to, you know, fix, right? It's an
16 important element.

17 And kind of finally, I think one element for us
18 to continue to think through, especially this diverse
19 panel, which is always really helpful when we have
20 different thoughts here is, you know, one of the things as
21 a grid planning side I've observed is we decided not to put
22 in electrification demand until it actually really
23 manifested for the purposes of planning in the grid
24 planning, and we were always five, six, seven years too
25 late. And you ended up now, now in this situation where

1 the demand is ramping up and we're caught off guard, right,
2 a little bit.

3 So how do we plan some level of a pathway that's
4 really important into the future planning to allow for
5 that, you know, timeliness of deployment, you know, when
6 it's ready for scaling?

7 So just want to put those thoughts for our, you
8 know, consideration in IEPR and continue discussion. Thank
9 you.

10 COMMISSIONER MONAHAN: So I just want to
11 acknowledge that Commissioner Reynolds has joined. And I
12 want to make sure that Commissioner -- that the
13 Commissioners that are joining remotely have a chance to
14 weigh in. So if you could just raise your hand or let me
15 know if you want to ask a question so I don't leave you
16 behind, because otherwise we'll dominate here in the room.

17 I know Commissioner McAllister has a question,
18 so --

19 COMMISSIONER MCALLISTER: Well, great. Well,
20 thanks for those great and complimentary presentations. I
21 really appreciate the various perspectives and just, you
22 know, I think it highlights the fact that we -- I think,
23 you know, Tyson, you said we've all got to really work
24 together and sort of roll up our sleeves and come to the
25 table and share perspectives and hopefully, you know,

1 really sort of iterate around this, I think, requirement
2 that we do a broad integrated analysis in the, you know,
3 the context that Vice Chair Ginda was just describing.

4 Let's see, I guess, actually, maybe this is -- my
5 question maybe it will be a good segue to our colleagues at
6 the PUC on the dais, on the virtual dais. I'm curious
7 about, sort of stepping back. I'm going to like avoid the
8 urge to ask any technical questions. But stepping back,
9 you know, we are talking about in this whole transition,
10 not just with hydrogen, but across the board, we are
11 talking about generational investments in public
12 infrastructure. And so it brings up questions of, do we
13 need any updates to our kind of regulatory model or
14 regulatory approach?

15 And I'm curious, direct -- sort of relative to
16 hydrogen, you know, we're going to see a transition in the
17 gas system. And, you know, this is a gas, and we're trying
18 to get out of fossil gas. The infrastructure is going to
19 be similar, but not the same.

20 And so I'm curious how -- whether each of you has
21 a perspective on what that infrastructure investment, what
22 the involvement of the capital markets looks like? What
23 kind of regular -- you know, should hydrogen, should the
24 hydrogen ecosystem sit, for example, under the authority of
25 the PUC or should it be more sort of out there in the

1 marketplace happening? Like what regulatory models do you
2 think, are they different? Does our existing one work?
3 Kind of, I'm curious as to whether any of you have given
4 any thought.

5 You know, are we -- to mobilize the kind of
6 capital that we need to get to 2045 and have, you know,
7 whatever the wedge of hydrogen ends up looking like, what
8 sort of, you know, public authority -- how should that
9 guide this process?

10 MR. ECKERLE: That's a huge question. It's the
11 right question. I don't know that we have great answers
12 yet.

13 I'll give you where I think things might go. And
14 this is, I think if we play this right, like ARCHES could
15 become kind of an equivalent of CAISO for hydrogen, where
16 you're starting to match supply and demand and all that
17 type of stuff, you know, and making sure that we have
18 clear, transparent, fair, open market rules. But I don't
19 know if that -- you know, so that's kind of one view of the
20 world where it could go. Like, is that where it's going to
21 go? We don't know yet. We have to work together to get
22 there.

23 But I think there is -- because we don't know
24 exactly where, you know, all the regulation should live.
25 And what I think we want to make sure is we're not creating

1 kind of this confusing patchwork of regulatory environment
2 where it's like we need that long term certainty on
3 principle.

4 And so that's one view of it. I don't want to
5 throw it out there as a controversy, you know, but I think
6 that's kind of one way to think of it. And I think the
7 benefit of what the federal government has kicked up from
8 the Bipartisan Infrastructure Law is a lot of organization
9 across the country, not just ARCHES; right? But it's like
10 that idea of bringing together the public and private
11 stakeholders to get this right. I think there's a lot of
12 value there. And the CAISO model seems to be working
13 pretty well in a lot of ways. And so to me, there's kind
14 of this natural synergies.

15 But that's a huge question. So that's not like a
16 full answer. I'm just saying, you know --

17 COMMISSIONER MONAHAN: And I want to make sure
18 Commissioner Reynolds has a chance to ask a question.

19 COMMISSIONER REYNOLDS: Thank you, Commissioner
20 Monahan. And I'll be following on the heels of
21 Commissioner McAllister here.

22 I think something that came through in all of
23 your presentations, and thank you all for your
24 presentations, they were really wonderful and informative,
25 you know, the concept of electrification or hydrogen as a

1 different method of decarbonizing, depending on the
2 application, is an important one, and one that has
3 infrastructure implications either way, significant
4 electrical infrastructure implications for electrifying
5 different processes, significant infrastructure
6 implications for hydrogen as the method to reach
7 decarbonization applications.

8 I wonder if some of the panelists might be
9 willing to share some thoughts about how we might weigh the
10 opportunity costs of choosing one method or the other for
11 the applications. And, you know, in conjunction with that,
12 give some ideas for how we should think about some of the
13 private choices that are going to be made in conjunction
14 with the large-scale infrastructure choices. You know, an
15 airline choosing a method to decarbonize its short-haul
16 fleet is going to be weighing lots of different factors,
17 and certainly infrastructure availability to support their
18 application will be an important one and cost and I'm sure
19 there are other factors, operational factors.

20 Do you have some ideas for how we might encourage
21 conversations that help the infrastructure discussions and
22 the private industry thinking aligned so that we're not
23 ending up with stranded assets or so that the
24 infrastructure is able to effectively meet the needs of
25 different structures to decarbonize?

1 MR. BUDDEN: I think there's some lower hanging
2 fruit to start off with. I hope this answers your question
3 somewhat in that like we do use a lot of hydrogen already
4 today in certain industries, particularly chemicals and
5 refining. So starting off with cleaning up existing
6 hydrogen use is definitely a place where we can deploy
7 hydrogen and not build out a ton of infrastructure we don't
8 think we're going to need.

9 I also think that there are some other just like
10 really obvious things that we know we don't need hydrogen
11 for that we can just avoid doing that we need to make sure
12 we do avoid. Things like heating our homes, we don't want
13 to blend gas into our distribution, blend hydrogen into our
14 gas distribution networks. That would be really wasteful,
15 and setting up infrastructure to do that would be a big
16 waste.

17 Light-duty and medium-duty vehicles as well, just
18 that would be a pretty wasteful way to spend our
19 infrastructure money.

20 So, yeah, those are some easy things to get
21 right. And I think for the rest, we just really need to
22 see how the technology develops and make sure we're doing
23 like really rigorous accounting of the -- all the impacts
24 that have been discussed, including the greenhouse gases,
25 the air pollution, all the community impacts that we've

1 touched on today.

2 MR. ECKERLE: And maybe suggest, and thanks for
3 the question, taking even a step back. And I think if we
4 get this right, like what hydrogen penetration should do is
5 enable more renewable electrification, and vice versa;
6 right? So it's kind of that mortar that can pull that
7 system together and enable deeper renewable electrification
8 into our markets.

9 And so that's kind of where we go, and so we can
10 focus in on the heart of the carbonized sectors for sure,
11 but we can also enable other sectors, you know? So like in
12 the medium- and heavy-duty context, if you're getting those
13 on the road, having passenger vehicles there is a net
14 benefit to and, you know, we can debate the merits there.

15 But, you know, probably in houses, heat pumps
16 make a whole lot more sense; right? You can start to tease
17 it apart, but it's really that idea of being able to get
18 more renewables out onto the grid and enable more renewable
19 electrification across our economy writ large, and
20 decarbonization into all the sectors.

21 MS. BYLIN: And just to, I know, I think we're a
22 little tight on time, but just to also acknowledge the
23 prior question about regulatory and permitting aspects, I
24 mean, that was something -- that's something that's asked
25 for in the 1075 report is regulatory and permitting

1 processes, analyzing sort of optimal regulatory and
2 permitting processes and making recommendations for
3 hydrogen transmission and distribution.

4 So I think the 1075 process, in partnership with,
5 you know, our partner agencies through a public process we
6 should -- it's not very satisfying because we don't have
7 the answer now but just to know that that process is coming
8 I think is really valuable and we'll be -- you know, have
9 the opportunity to be thoughtful and really take this
10 wholistic look at the intersection of all of these
11 opportunities.

12 COMMISSIONER MONAHAN: And I see Commissioner
13 Houck has her hand up and I know we're -- so let's finish
14 off with her. We're a little bit over time but I want to
15 make sure everybody on the dais has a chance to ask
16 questions. So in the future, I'll start with the folks on
17 the virtual dais.

18 COMMISSIONER HOUCK: I'll just make my comment
19 really quick.

20 I just wanted to thank the panelists. The
21 presentations were very helpful and informative.

22 And just to follow on regarding, you know, the SB
23 1075 and the jurisdictional issues that Commissioner
24 McAllister raised, SB 1075, as was noted, clearly has a
25 place to look at recommendations. And the PUC does

1 currently have some proceedings that are active before it
2 that we are addressing hydrogen issue. So I would
3 encourage you to look at that because I don't want to get
4 into any ex parte violations. Commissioner Reynolds and I
5 both have some of those assigned to our offices.

6 And just really look forward to working with
7 everyone as we move forward with this effort. It's, again,
8 important to our clean -- meeting our clean energy goals,
9 so just wanted to add that in there.

10 And I know because of time, I will not ask a
11 question here, but thank you, Commissioner Monahan, for
12 giving me a couple minutes.

13 COMMISSIONER MONAHAN: Thanks, Commissioner
14 Houck, and we'll make sure we'll start with you next.

15 So, all right, let's move on to the next panel.
16 And, Jennifer, you're on.

17 MS. CAMPAGNA: Thank you. Good morning
18 Commissioners and attendees. My name is Jennifer Campagna.
19 I am the Supervisor of the Natural Gas Unit in the Energy
20 Assessments Division at the CEC. I will be providing an
21 overview of the initial approach and preliminary takeaways
22 from the CEC's analysis of hydrogen potential for
23 decarbonizing electricity generation. I'm looking for
24 reaction and feedback today to help frame out future
25 analysis.

1 Next slide, please.

2 This is just a quick overview of my presentation.
3 I will provide the background of why we are doing this
4 analysis, and then I'll give an overview of the analytical
5 process that was undertaken. I will cover the preliminary
6 challenges that were identified and the takeaways, and then
7 I will be followed by Quentin Gee the Supervisor of the
8 Transportation Energy Forecasting Unit, and he will present
9 on the transportation analysis.

10 Next slide, please. Okay, just go oh, sorry. I
11 just lost my place here. I'll just quickly through this.

12 This is just a background of why we did this analysis.
13 You've heard already mentioned of Senate Bill 1075. This
14 legislation requires the CEC to study and model potential
15 growth of green or clean renewable hydrogen for the power
16 generation and transportation sectors. As noted here,
17 there are other analyses that look at hydrogen at a larger
18 scope of uses, especially for hard to electrify
19 applications. Our analysis builds onto SB 100 analysis,
20 and this will help frame analysis and modeling for the next
21 SB 100 report which will go out in January 2025.

22 Also, as Tyson covered in his presentation,
23 another guiding policy is Governor Newsom's directive that
24 came out on August 8th for GO-Biz to develop a strategy to
25 create the hydrogen economy of the future.

1 So next slide, please.

2 Okay, this is just a nice graphic that sort of
3 shows our analytical processes that we took on here. The
4 preliminary idea is to look at substituting hydrogen for
5 methane and generating electricity. We selected two
6 different 2045 scenarios, an SB 100 scenario and CARB's
7 2022 Scoping Plan. We evaluated what it takes to create
8 hydrogen to replace the 215 billion cubic feet of natural
9 gas generation still in place in 2045 as identified in the
10 Scoping Plan. Factors that we reviewed include production
11 and electricity needs, the ability to generate and store
12 hydrogen on site, delivery options, and costs.

13 So based off this early examination, we
14 identified some challenges and preliminary takeaways that
15 helped define the analysis and that we will report on in
16 the 2025 IEPR. And this slide also includes an overview of
17 the transportation analytical steps, which as I noted,
18 Quinton will cover in more detail.

19 Okay, next slide, please.

20 Okay, so here I provide an overview of what it
21 would take to generate clean renewable hydrogen from
22 electrolyzers using renewable energy, mostly solar and
23 wind. So you have the renewables that generate the
24 electricity and it is sent to the electrolyzer where it is
25 then converted to clean renewable hydrogen and then stored

1 in a hydrogen tank until needed to create electricity via
2 fuel cells or combustion and then is sent to the grid.

3 Preliminary results show that 1 megawatt of
4 renewable power produces enough hydrogen to replace only
5 0.142 megawatts of natural gas combined-cycle, so about a
6 factor of seven. But I'll just note this estimate is based
7 off current information and technologies; work to improve
8 the efficiencies of this production process, you know, to
9 get this to a better ratio, especially by 2045.

10 Okay, next slide, please.

11 Okay, so I showed you the energy -- let's see --
12 I showed you the energy needed for generating electricity
13 from hydrogen. So I'm going to show you some
14 characteristics of electrolyzers for this process.

15 So this table shows different models of Cummins
16 PEM electrolyzers, HyLYZER series in a range of flow and
17 sizes. A quick note that PEM stands for proton exchange
18 membrane. It's a key feature of a PEM that allows for fast
19 ramping, but it does cost more.

20 For purposes of our analysis, we reviewed the
21 Cummins HyLYZER 4000. It's the largest found in the
22 literature search. And if you see that red circle that
23 shows it has a flow of 4,000 cubic meters per hour. The
24 blue circle shows the footprint, so it's a pretty large
25 tank.

1 So what if we want to replace the Scoping Plan's
2 215 billion cubic feet of gas burn? Well, when we looked
3 at how many electrolyzers that would take, and the estimate
4 is it would require about 537 HyLYZER 4000s, which is that
5 largest model I was just talking about.

6 Okay, and I -- oh, and I will note that this does
7 need more modeling in the future to match the sizing of
8 renewables to electrolyzers and the gas burn hours.

9 So next slide, please.

10 Okay, so now that we talked about how hydrogen
11 can be produced remotely on site, we can look here at a
12 couple of delivery options. Each does have some
13 challenges.

14 For trucks to liquefy hydrogen, it is an extra
15 process and entails additional costs for cooling
16 infrastructure. Gaseous form requires compression. This
17 doesn't seem to be a feasible option at volumes required
18 for a power plant because it would mean, you know, truck
19 after truck delivering hydrogen. So pipelines, we looked
20 at blending five percent. So, yeah, sorry, I'm losing my
21 place here. And we just think that any new dedicated
22 hydrogen pipelines would benefit from co-located
23 facilities.

24 Okay, next slide, please.

25 So in talking about co-locating, we used GIS,

1 looking at co-locating electrolyzers and storage at
2 existing gas-fired generators in California. And we found
3 that a single electric generation power plant will require
4 multiple electrolyzers. Only 33 to 40 in California have
5 land space nearby to locate. Seven of these are maybe. I
6 will note this does not include space for additional
7 renewable generation or water requirements, and does not
8 include storage tanks, and you do need almost as many
9 storage tanks as electrolyzers.

10 Next slide, please.

11 Okay, so this is just a nice interesting visual
12 that puts into perspective the size of hydrogen storage
13 tanks. You can see this NASA photo shows a couple
14 different storage tanks. On the left you have an older
15 Apollo-era liquefied hydrogen tank, about 3,200 cubic
16 meters. On the right is a new tank that holds about 4,700
17 cubic meters. Just for perspective on the size of these
18 tanks, you can see there's big rig trucks parked in front
19 of each of those. So it just shows how big these tanks
20 are.

21 Next slide, please.

22 Okay, so this slide just talks about the cost of
23 electrolyzers that were examined associated with replacing
24 that 215 billion cubic feet of methane with hydrogen.
25 Early analysis, as I noted, it takes about 537

1 electrolyzers to do this.

2 I will just note this is a preliminary effort to
3 build out cost estimates. We made some assumptions for the
4 total capital requirements. This included engineering,
5 financing costs, and others for about 1,500 per kilowatt in
6 2023. And based on a literature search that predicts
7 electrolyzer costs will decrease by about 80 percent
8 between now and 2045.

9 So the average TCR for electrolyzers across this
10 timeframe was determined to be \$879 per kilowatt. It does
11 not include some other cost factors related to renewable
12 electricity delivery, et cetera. But again, this is very
13 early analysis. We considered production tax credits and
14 how those can help. And we do understand there are other
15 federal funding opportunities and state and local
16 initiatives that will continue to help drive down these
17 costs.

18 Next slide, please.

19 Okay, this just tees up some issues that need
20 further examination regarding the proximity of some of the
21 California gas plants to disadvantaged communities. As
22 you've already heard, hydrogen does have greater NOx
23 emissions that would need controls. We could look at
24 possibly prioritizing plants in disadvantaged communities
25 for conversion. This will be an issue that we'll need

1 examined further in the next phase of analysis.

2 Next slide, please.

3 So this is my last slide and this just summarizes
4 all the challenges I described. I won't go through these
5 point by point in the interest of time. I do want to note,
6 there is an error. That last bullet, it should not say
7 \$163 billion. I'm sorry, that should be \$71.5 billion as
8 was noted on slide ten. And so we will get that fixed when
9 we docket.

10 But we will also be keeping track of advancements
11 and improvements as we move along through this analysis,
12 including the, as I noted, the incentives and other
13 initiatives that are continuing to develop at a state and
14 federal level.

15 Next slide, please.

16 And that wraps up for me. Thank you.

17 I will now turn over to Quentin Gee for his part
18 of the presentation. Thank you.

19 MR. GEE: Great. Thank you, Jennifer. Good
20 morning. Yeah, good morning Commissioners. My name is
21 Quentin Gee. I'm the Acting Manager for the Advanced
22 Electrification Analysis Branch, and also the Supervisor
23 for the Transportation Energy Forecasting Unit.

24 So what we're going to do for the transportation
25 component of the IEPR contribution in SB 1075 is kind of, I

1 think, limited in certain ways. And I think one of the
2 reasons for that -- and what we're going to be doing is
3 we're going to be sticking primarily to medium- and heavy-
4 duty for the analysis. There are some light-duty fuel-cell
5 electric vehicles out there. We have seen that their
6 market penetration has been relatively small compared to
7 other zero-emission vehicles representing less than 1
8 percent of new vehicle sales. That has grown a little bit.
9 I mean, that has grown commensurately with other ZEVs. You
10 know, ZEVs, zero-emission vehicles, ZEV sales have grown a
11 lot and fuel-cell electric vehicles have maintained that
12 sort of one percent point, but not really grown as a
13 percentage of all the ZEV sales out there.

14 So when we got together and started talking about
15 how we would do this modeling, we thought that the best
16 area for us to really sort of show where we're going to
17 need a lot of kilograms of hydrogen was in the medium-and
18 heavy-duty market. There are certainties there.

19 We currently don't -- they're primarily in the
20 pilot stage as far as fuel-cell electric trucks go, but we
21 do see some potential promise there. And we thought, you
22 know, one of the best ways that we could evaluate this is
23 sort of taking our existing freight model and the truck
24 choice model in particular on that and using it to modify
25 the fuel prices and the truck, the fuel-cell electric truck

1 prices to sort of capture what the potential is in the
2 hydrogen market out there and what would be the possibility
3 for freight goods movement with hydrogen.

4 So that's kind of the main approach that we had.
5 We didn't want to change too much in the whole freight
6 model. The freight model is a very complicated mode and,
7 sort of, you have to model out where all the goods are
8 going to be moving in the state and all that stuff and we
9 just sort of said, you know, we don't want to tinker with
10 that.

11 But when it comes to adding new trucks, right,
12 every year we have to add new trucks in our freight
13 forecast, some retire, there's more goods that need to be
14 moved, so when the trucks are added to the population to
15 move those goods, we, you know, are sort of just saying,
16 well, let's target that, and that's where our truck choice
17 model comes into play. And the truck choice model is a
18 little bit different than the light-duty choice model.

19 The light-duty choice model is very complicated.
20 As we all know, consumers are very nuanced or complicated
21 in their decision making. When, you know, you try to
22 evaluate, you know, some people are like, oh, I like that
23 color or I like this, you know, whatever, you know, lots of
24 things go on with that. But that's a different story when
25 it comes to medium and heavy-duty trucking and that sort of

1 thing, those sorts of things.

2 When it comes to freight movement, really, a
3 fleet operator or even an individual truck driver, you
4 know, an owner-operator is really more interested in like,
5 what's it going to cost? I'm going to make an investment
6 in this truck and it's going to cost. I'm going to make an
7 initial investment in this truck and I'm going to have to
8 spend money to maintain it, to fuel it and all that stuff,
9 what's that going to cost me? If one truck costs twice as
10 much to operate per mile than another truck, you're
11 probably going to go for the lower cost truck.

12 And so that's where our truck choice model is
13 really good at sort of evaluating that. And we thought,
14 let's modify these scenarios so we can be as consistent as
15 possible with our traditional forecasting framework, but
16 then also, you know, try to get a sense of what could the
17 possibilities be out there with hydrogen.

18 So why don't we take a look at the next slide and
19 we can look a little bit at these preliminary results in
20 the initial setup of these scenarios.

21 So really, the only places that we have -- we
22 worked with some contractors a couple years ago to develop
23 forecasts for fuel cell, well, for all truck prices,
24 including fuel-cell electric trucks. And really, we were
25 only seeing them at the time in the Class 6 market and in

1 the Class 8 market in terms of announcements and other
2 sorts of things like that. Class 6 you could think of as
3 maybe like one of the biggest U-Haul trucks that you can
4 drive out there, what we call maybe a medium straight
5 truck, or these large step vans, some of the really big UPS
6 vans that you might see out there. And then we've got
7 Class 8 trucks, which you can imagine sort of being like
8 these sleeper cabs or other short haul of drayage type
9 trucks.

10 So what you see there are the pounds or the gross
11 vehicle weight rating, that's kind of like what the whole
12 object, if you were to put it with all its goods and stuff,
13 you know, on a scale, what's it supposed to be not weighing
14 more than; right? And Class 8, you usually go from 33,000
15 maybe up to 80,000, maybe some cases 82,000 pounds. And so
16 that's where we're really seeing the potential for trucks
17 out there.

18 There may be some differences with the Air
19 Resources Board on that, with where -- their medium-duty
20 trucks they have forecasted or put into place some other
21 trucks out there, and we want to keep a close eye on the
22 market to see like if there are some other ones that could
23 come forward.

24 Class 2B maybe is a potential out there if --
25 that's where you can imagine kind of like big huge -- or

1 not big huge, but large, really large pickup trucks, those
2 might be an opportunity out there, but so far we haven't
3 seen anything yet.

4 But with these two vehicle classes, we did have
5 existing fuel-cell electric truck options available, we had
6 prices, we had good data on that. And so what we thought
7 to do with the scenario is basically just modify the prices
8 of these trucks to see if we can get the prices to be a
9 little bit lower, maybe there would be an opportunity for
10 them to increase the percentage of those trucks added into
11 the population.

12 Next slide.

13 Okay, so the next thing that we wanted to do, and
14 we realized after conducting these preliminary, again,
15 these are preliminary scenarios where we're still in the
16 process of developing this, it's going to be aligned with
17 the 2023 Integrated Energy Policy Report forecast, so
18 this is -- what we did is we took last year's model, and we
19 just kind of tinkered with some of the inputs there. But
20 hydrogen fuel is one of the leading factors, the fuel
21 prices is one of the leading factors that we found here in
22 terms of adoption rates that we would likely see.

23 And so what we did was we ran three scenarios.
24 One of them was what we call the baseline scenario where we
25 took the new vehicle prices, so it's not the same as the

1 2022 IEPR, but we took the new vehicle prices, and then we
2 also took the standard hydrogen fuel price forecast that we
3 had from the National Renewable Energy Lab last year.

4 And we also drew two other scenarios in here.
5 One of them was basically starting pretty close to the same
6 amount, same price of the 2023 price. I think it was
7 aligned with the 2021 price.

8 But we drew -- we kind of just linearly declined
9 it to say like, well, let's say in 2035, the year that
10 we're seeing a lot of our major zero-emission vehicle
11 rules, you know, really kick in to their full force, let's
12 just say in 2035, they just linearly declined down to \$7.00
13 per kilogram of hydrogen or \$5.00 per kilogram of hydrogen.
14 This would be the retail price.

15 One thing we want to make sure we're clear on is
16 there's a difference between the production price, you
17 know, which might be coming out of the electrolyzer, then
18 you've got to do all these other steps that some of the
19 speakers spoke to before that, and then you've also got the
20 cost of operation for a fueling site and those sorts of
21 things like that. So we're talking about the retail price
22 you fill up, you would pay \$5.00 a kilogram or \$7.00 a
23 kilogram.

24 So we have this continually declining price
25 linearly, just to kind of see what happens in the model

1 with this relatively simple modification. And, you know,
2 from there we can get a sense of what are the possibilities
3 out there. And what we found is that actually it's the
4 fuel price that's driving some of the adoption in our work
5 here.

6 Let's take a look at the next slide and we can
7 look at another key input.

8 So the other key input, so fuel prices are one of
9 the key drivers there, but another key input is the actual
10 price of the trucks. Right now, hydrogen fuel-cell
11 electric vehicle trucks, they are a little bit on the
12 expensive side. But we think that there's quite a
13 possibility, and we already actually had them declining
14 anyway, but we introduced some new price declines in there
15 to say, like, well, let's say that the learning rate on the
16 fuel cell stacks can really get a lot better. In that
17 case, that we could have these price reductions, what would
18 happen?

19 And so what we did is we started with sort of
20 what we have known and were able to document with some of
21 our work with other folks is the starting price. We have
22 these trucks - The Class 8 trucks are introduced in 2027,
23 and they have a continual price decline out there,
24 eventually meeting parity with diesel trucks in 2040 and
25 actually undercutting electric trucks in around 2033, 2034.

1 Next slide.

2 So here's the results of the scenario. So we
3 have these two major factors in the total cost of ownership
4 calculation here that impacts the choice model. And we can
5 see in the dark blue line at the very bottom there, you can
6 sort of see that under the standard fuel price and the
7 standard truck prices, not a whole lot of adoption going on
8 there in total fuel-cell electric trucks. And then when
9 the price declines to \$7.00 per kilogram, you actually do
10 see a larger uptake and quite a bit larger uptake if it can
11 get down to \$5.00 per kilogram.

12 That does differ in some ways from the CARB
13 Scoping Plan scenario, and I think the leading reason for
14 that is that we didn't have as many truck categories as we
15 showed at the very beginning slide. We only had Class 6
16 and Class 8. And I believe, I don't have the exact
17 numbers, but I believe in the CARB Scoping Plan they had
18 many other vehicle classes of hydrogen fueled trucks. So
19 we think that that was probably one of the leading drivers
20 there.

21 Next slide.

22 Okay, similarly, we can see in the case of
23 hydrogen demand sort of just growing in the same way that
24 the trucks grow, pretty similar. You may have noticed in
25 the previous slide, CARB had a lot more vehicles, and the

1 difference, the gap between our fuel demand and the vehicle
2 demand is a little bit smaller when it comes to the fuel
3 demand.

4 The reason I think for that is, again, having to
5 do with the fact that we're seeing more adoption in the
6 heavier trucks and didn't have as many of the lighter-duty
7 trucks, or not lighter, but more medium-duty trucks. And
8 so in that case, the heavier trucks, you know, they're less
9 fuel efficient because they're moving a whole lot more
10 stuff. So we think that this is the explanatory factor
11 here, but still a solid amount of demand for hydrogen in
12 these scenarios, these two scenarios.

13 Next slide.

14 So the last thing that we thought would be useful
15 to draw attention to is we really didn't see a whole lot of
16 changes across our scenarios in the Class 6 category. So
17 making hydrogen a little bit cheaper, really, or a lot
18 cheaper, that really doesn't help that much with adoption
19 in those categories.

20 But if you take a look at what we call the IRP
21 trucks, these are international registration plans, these
22 are basically long haul trucks that go interstate, they go
23 all the way out to Texas or all the way up to Washington or
24 something like that, what we see in these cases is that,
25 you know, the difference between the \$7.00 per kilogram and

1 \$5.00 per kilogram, you know, truck population levels, you
2 can see quite a bit. It just really goes up quite high,
3 especially for those trucks, because primarily, you know,
4 they're driving so many miles. If you're driving a whole
5 lot of miles and the price of the truck is not as big of a
6 factor as the cost of the fuel because, you know, driving a
7 lot of miles, the fuel is what's going to be a larger part
8 of your bottom line.

9 So we noticed that with the IRP trucks and
10 California-based, California home-based IRP trucks in both
11 those scenarios, you can see that just a \$2.00 per kilogram
12 reduction in price could almost, I think, more than double
13 the demand for the trucks. And so we thought that was a
14 really important finding, a preliminary finding here.
15 Again, we still need to run the model and its final setup
16 with the 2023 IEPR. But we think that this is probably one
17 of the strongest indicators here that the fuel prices is
18 one of the key things, especially for long haul.

19 I should note one other thing is that we pointed
20 out that really what we're kind of envisioning, the trucks
21 in our fuel -- in our demand models, the trucks really have
22 unlimited access to fuel. The price impacts how much
23 they'll use it. But, you know, if a lot of these trucks
24 are trucks that are going across interstates, we didn't
25 evaluate the infrastructure availability for refueling, you

1 know, in these different states. So that's one important
2 limitation. And I don't know if that's something that we
3 can really address right now in our model.

4 Next slide.

5 The next steps, we want to refine the inputs, get
6 feedback from the public. We want to explore some
7 potential ways to maybe do this for fuel-cell electric
8 buses. They're not quite as large in terms of fuel demand
9 and total population. But there are a good number of them
10 that may -- we may, you know, modify, improve this a little
11 bit more, and also compare some of our results with some
12 existing hydrogen, other existing hydrogen adoption
13 scenarios.

14 So with that, I think Jennifer and I can take
15 some questions. Actually, one last slide, sorry. Thank
16 you.

17 I do want to give very, very much credit to
18 Maggie Deng, who is our Lead Freight Truck Forecaster. She
19 did a lot of this groundwork and I'm just kind of, I guess,
20 sitting in her seat today. Yeah. She lives in L.A., so,
21 yeah.

22 COMMISSIONER MONAHAN: That was great. Thanks,
23 Jennifer and Quentin. Really excellent presentation. It's
24 good food for thought, that's for sure.

25 And I want to make sure I commit to starting with

1 Commissioner Houck, if she has any questions, or
2 Commissioner Reynolds, just to give the virtual dais space.
3 Any --

4 COMMISSIONER HOUCK: Yes. I know that the focus
5 was on looking at heavy-duty and vehicle transportation,
6 but -- and I don't know if this is a question. I know CARB
7 wasn't on this panel, so this may not be the appropriate
8 panelists. But, you know, are we looking at how we're
9 going to address fuels for airplanes? Because that's going
10 to also be critical here. And I know I didn't see it in
11 the earlier presentations or discussed here. So, again, we
12 may not have the right folks for that, but I didn't want to
13 lose sight of that either.

14 MR. GEE: Yeah. Thank you, Commissioner Houck.
15 That is something that would be able to be addressed with
16 us. We've been in some conversations with this. It may be
17 something that we can integrate with our demand scenarios
18 and something that we should be thinking about. There's a
19 lot of uncertainties still in that area, but it's something
20 that we -- I can work with the team to make sure that we
21 definitely at least qualitatively discuss the possibility.
22 We'll see about being able to quantify it. But that is
23 something that we are working on.

24 COMMISSIONER HOUCK: Well, thank you, and thank
25 you for the presentations.

1 COMMISSIONER MONAHAN: Commissioner Reynolds, do
2 you have any comments or questions?

3 MR. WICHERT: No additional questions for me.
4 Thank you, Commission Monahan.

5 COMMISSIONER MONAHAN: All right. And then I'm
6 going to go to Commissioner McAllister because I cut him
7 off in the interest of time, which I feel terrible about.

8 So, Commissioner McAllister, do you have any
9 questions or comments?

10 COMMISSIONER MCALLISTER: I actually don't on
11 this panel. I just want to say thanks to both of you,
12 Jennifer and Quentin. A lot of great data there.

13 And, I mean, I will just remark that the
14 differences in the various forecasts are, you know, quite
15 notable. And I think, you know, it just reflects the --
16 you know, nobody has the same crystal -- you know, lots of
17 different crystal balls here and lots of different
18 methodologies and, you know, really important to track
19 trends and incorporate those iteratively into our forecast
20 and work with ARB and others.

21 So, but, yeah, thank you very much.

22 VICE CHAIR GUNDA: Thank you, Jennifer and
23 Quentin, for the presentation.

24 I want to kind of pull it up a tiny bit. I
25 think, you know, we've done -- you know, I understand this

1 is preliminary analysis and framing for CEC's part of the
2 report. And I want to note Commissioner Houck's point on
3 just the, you know, aviation sector and others, and
4 potentially marine vessels and hydrogen, and how do you
5 completely take that into account?

6 But let's kind of take a step up right here.
7 Just, I think, from the first panel to going into this
8 panel, we're trying to kind of -- and I think there's two
9 things that are happening. There's a very clear
10 understanding that we would need some level of clean
11 molecules for the future transition; right? And I'm like
12 framing this for the context of the work that CEC can do to
13 support the conversation; right?

14 And then we are saying there's huge uncertainty
15 here. The huge uncertainty comes from whether we have
16 enough electricity to produce the green hydrogen and at
17 what scale, what time, you know, and how does that drive
18 the costs? And then we are talking about, you know, the
19 usage of existing hydrogen in different sectors, right,
20 like at the start, and then hopefully like, you know,
21 bringing a pathway forward.

22 We also noted, especially from Tyson's
23 presentation, kind of the opportunity for really coalescing
24 a regional strategy, right, to really, you know, kickstart
25 this opportunity. So I think from a policy standpoint,

1 it's really important to understand the bookends and the
2 opportunities; right?

3 So when I think about specifically, you know, if
4 I interpret the kind of statute as what is the total
5 addressable market, I think the approach, Jennifer, that
6 you've taken in the presentation that you provided was let
7 me look at Scoping Plan and I'm going to -- and let's look
8 at a scenario where we replace all of the natural gas need
9 with a cleaner fuel like hydrogen; right? And then I'm
10 going to create a bookend there on that side.

11 The other bookend is, you know, the Scoping Plan
12 does not take into account high level of demand
13 flexibility, does not take into account high level of the
14 penetration. And what does that do to the potential need
15 of natural gas fleet and how does that affect you, right,
16 on the back end? And similarly for transportation, you
17 have a high level bookend and a lower bookend.

18 And I think that the reason that's important to
19 lay that out is this is a chicken-and-egg problem; right?
20 At some point, the state and, you know, with broad public
21 consensus has to decide whether we are going to invest
22 enough money to create a market; right?

23 And if we are creating the market, how do you
24 create the market in a way that there are clear step ups in
25 scaling? Here you go, we created a regional market, a huge

1 test bed, ARCHES project, you know, like how Tyson kind of
2 framed it, and that's the opportunity. And if that
3 opportunity, you know, based on the demonstration of that,
4 we've seen the benefits, we've seen the impacts, is that
5 opportunity to then replicate the ARCHES model across
6 California at different hubs, right, or not?

7 So I think it's important for us to like create
8 that boundary and say, for this boundary to happen, these
9 are the conditions that ultimately has to be in place to
10 make that happen. If we are looking at, you know, business
11 as usual, just looking at costs and with no incentives, we
12 might not get there; right? Or the other bookends.

13 I just wanted to kind of make sure that we
14 capture that nuance in the presentations we develop. I
15 don't want us to kind of be in the situation going back,
16 you know, and, you know, chastising myself. When I used to
17 be in a staff here, you know, the Commissioners used to
18 ask, hey, what is the EV forecast? And we would say our
19 model is saying this. And they would say, no, that is not,
20 you know, what the policies of the world are. And you're
21 not taking into account all those policies. And it would
22 have a different impact.

23 And we have seen over the -- you know, if you look at
24 the earlier forecast, 2017, 2018, the EV forecasts were
25 much lower. And suddenly, you know, and now we have like

1 this huge kind of inflection.

2 So I just want to capture that nuance and
3 understand that a part of hydrogen journey is kind of state
4 putting its finger on kind of saying this is an important
5 element for XYZ regions, you know, like, you know, I think
6 CARB will do that, and for us to allow for the space for
7 the discussion to happen and create that independent forum
8 for that, you know, broad information base.

9 So I just wanted to give that as an opportunity
10 for us to consider as we develop a report. Thanks.

11 COMMISSIONER MONAHAN: Well, and I want to build
12 on that a little and just say that I really appreciate this
13 scenario-based approach, that where we say, well, if this
14 happens, then that could happen. Because what we're trying
15 to do is forecast what prices are going to do in the
16 hydrogen, in the space of hydrogen. And we've seen
17 volatile prices, in part due to volatile natural gas prices
18 and in part due to changes that I think will happen to the
19 Low Carbon Fuel Standard to increase credit prices. But
20 the volatility has been in the opposite direction of where
21 we want to go.

22 And to really reach these deep penetration of
23 vehicles, we need to make sure that the price of clean
24 hydrogen reaches, at least in the transportation space, you
25 know, something commensurate with diesel. And that's

1 critical. We can't forecast that. We're doing all we can
2 to bring down the price. I think ARCHES is doing all it
3 can. And we have more opportunity now than we've ever had
4 to be able to reach those goals.

5 But a scenario-based approach is really
6 important. And I think one of the things as the lead
7 energy planning agency we wrestle with is, so when do we
8 start accounting for that in demand for electricity? And
9 as the Vice Chair said, you know, we changed our --
10 dramatically changed our planning process to account for
11 not just regulations that are passed, but regulations that
12 we expect to happen just to meet state goals.

13 And so that's leading, I think, you know, to a
14 situation where in the past we told, we as a state, the
15 CPUC, really, told utilities to be more efficient, use less
16 energy, plan for that. We have four-year general rate
17 cases that did that. And now we're saying, no, we're
18 changing our planning processes. As a state, we're looking
19 more, you know, we're accounting for this electricity use
20 that we're going to do. We're changing how utilities plan.
21 Utilities are adjusting. They're changing their planning
22 and investment and distribution level and transmission
23 level, actually, on the bigger integration of renewables
24 and energy storage side.

25 And all this is happening simultaneously. And

1 this is some of the appeal of hydrogen is that we want to
2 have a diverse set of energy sources and we need to plan
3 for all this renewable energy.

4 And, Jennifer, I was particularly like, I think
5 the space considerations, if it's done here, that's
6 important. We need to account for that. If it's done
7 here, we need to account for the electricity generation.
8 We're not right now and we need to.

9 So all this is, you know, in terms of, you know,
10 we have these scenarios now, eventually we need to get to a
11 place where we feel more confident, and then we incorporate
12 that into our demand forecast. We're not there yet. We're
13 at a scenario-based, I think. And we want to, we need to
14 get there in order to plan appropriately for our energy
15 needs.

16 VICE CHAIR GUNDA: Yeah, I think just elevating
17 Commissioner Monahan's point right there.

18 So, you know, EAD, Energy Assessment Division, is
19 right in the middle of, Quentin, you are in the middle of
20 petroleum. And here you go on the petroleum side, we're
21 talking about potential refineries, you know, closing in
22 California. And what happens to all those tanks that are
23 built out there, right, for that, you know? And maybe
24 they're not usable, right, for hydrogen.

25 But, you know, kind of, I think that nuance of

1 that being able to have the discussion would be really
2 helpful. And I think we inadvertently shape policy in this
3 forum. And, you know, we need to be like really objective
4 and methodical in the way we frame it so it gives space for
5 people to really, you know, take those different points of
6 view to, you know, shape the policy here.

7 The other kind of -- just as Commissioner Monahan
8 was speaking, when we started thinking about the
9 electricity planning and then baking in more and more
10 electrification, the importance of that is to understand
11 the impact; right? But I think we have some colleagues,
12 stakeholders who call in, specifically reminding all of us,
13 you know, the ratepayer impacts.

14 And so the important thing is to knowing the
15 cost, where it's paid from, whether it's general fund,
16 whether it's federal stimulus or whether it's something
17 else, we just need to understand the cost so we can
18 understand what can be borne by ratepayers meaningfully,
19 what can come from a state funded or a federal funded. And
20 for those things to have like meaningful discussions, we
21 need to look at all edges so that we can have that clear
22 opportunity at a table to think through all of this with
23 the site on solving the issue.

24 So thank you. Thank you.

25 COMMISSIONER MCALLISTER: So I want to just also

1 mentioned, you know, we do have the -- we do a lot of R&D.
2 And in the previous panel, there was a mention of, you
3 know, leakage trades and things like that. We have funded
4 some, you know, research on those issues.

5 And I think would just highlight that the quick
6 turnaround. Like, as these technical issues come up and as
7 we really are pushing the envelope on, you know, conceiving
8 the market and incorporating that into our forecasting and
9 really sort of talking nuts and bolts, what are we planning
10 for really, these particular issues will come up that I
11 think could require and really benefit from some state
12 investment in targeted R&D or targeted studies and things
13 like that, EPIC is, and I think we're very well positioned
14 to keep doing that.

15 And so, you know, certainly, as those ideas come
16 up, I think staff is paying attention and working with our
17 colleagues at the PUC and really trying to find out what
18 topics have the most value and that we can invest in as a
19 state. And, you know, coordinating that with ARCHES, I
20 think will be really important going forward.

21 COMMISSIONER MONAHAN: I mean, I think I -- and
22 unless this has stimulated any thought on the side of the
23 PUC, I think we're ready to take a break for lunch; is that
24 right, Heather?

25 MS. RAITT: Yeah. Unless you want to say

1 anything more, we're ready to take a break. And we'll
2 leave the line open and it'll be the same login if folks
3 log off, just you can use the same credentials to get back
4 on this afternoon. We'll start back at 1:30 with some more
5 panels.

6 Thank you, everybody.

7 (Off the record at 12:16 p.m.)

8 (On the record at 1:30 p.m.)

9 MS. RAITT: All right, so welcome back,
10 everybody. It's 1:30. I'm Heather Raitt. Welcome back to
11 the workshop on the potential growth of hydrogen for the
12 IEPR.

13 And just a couple of reminders. This workshop's
14 being recorded. And so we'll post a recording, an audio
15 recording, probably tomorrow, and then a written transcript
16 in about a month or so. And so thank you, everybody, for
17 being here in person and virtually.

18 One other thing I just wanted to say is that we
19 have an opportunity for public comments at the end of the
20 day. And so if you're attending remotely, you can press
21 that raise hand, it looks like a high five, on Zoom. We'll
22 be taking comments, like I said, at the end of the day
23 after these presentations. Or if you're on the phone, you
24 can press star 9, and that'll effectively raise your hand
25 to let us know that you want to comment. And if you're in

1 the room, we can have folks come to the lectern to comment
2 when the time comes.

3 But with that, we can go ahead and get started.
4 And so our first panel this afternoon is -- Jason Orta is
5 going to go ahead and get us started. Thank you.

6 MR. ORTA: Thank you. Good afternoon,
7 Commissioners. This panel that's on, that's coming on
8 right now, is the potential adoption of hydrogen in
9 decarbonizing the electric sector. We have a very diverse
10 panel of electric and gas utilities here on the dais, and
11 also a representative from Mitsubishi representing the
12 equipment side.

13 So we have, as follows, we have Carlos Koeneke of
14 Mitsubishi, Melanie Davidson of San Diego Gas and Electric,
15 Kevin Pease from PG&E, Yuri Freedman from the Southern
16 California Gas Company, and Randy Howard from the Northern
17 California Power Agency, NCPA.

18 So let's begin with Carlos.

19 MR. KOENEKE: Yes, good afternoon, and thank you.
20 Thank you very much for the opportunity to participate in
21 this workshop.

22 I put together a few slides that are mainly
23 focused on three items, on three subjects. The first one
24 is related to, you know, explaining or addressing safety
25 concerns that I hear very frequently related to, for

1 example, material embrittlement, hydrogen leaks, et cetera.

2 The second one is to describe a little bit that
3 our current main focus in development is the use of high-
4 content hydrogen in dry low-NOx type of combustor, not,
5 let's say, the vintage diffusion type that needs injection
6 of either water or steam, which is obviously not a good
7 thing.

8 And then the third part that I want to discuss is
9 the way we are planning to approach the verification of not
10 only how the turbines react to higher hydrogen, but also
11 how do we produce the hydrogen upstream. And that, I will
12 use -- for that, I will use that sketch that you see in the
13 right side of the slide.

14 So let's move to the next, please. And let's
15 skip this, because I don't think I have enough time. Next
16 one, please.

17 So the graph on the left shows experience that we
18 have through decades of operation with different hydrogen
19 blends. So in the horizontal axis, you can see the years,
20 and then in the vertical, the hydrogen content we have
21 operated in many different locations. And without getting
22 into too much details in the lower left corner, you see
23 that we are listing their syngas, which is typically used
24 as a product of IGCC projects, for example. Then steel
25 mills is the red circle. COG, in that case, stands for

1 coke-oven gas, which has a relatively high hydrogen
2 content. And the blue dots are for refineries, which
3 typically are very high.

4 So you can see how there are a lot of plants that
5 have operated. And if you look at the top, there are two
6 blue lines, one says A plant and B plant, that have
7 operated for a long time with margins as high as between 80
8 percent and 90 percent hydrogen.

9 So the reason I wanted to show this is despite
10 the fact that these, you know, all these units, which are
11 different, but they operated with diffusion-type
12 combustors. But the fact of the matter is that if we have
13 accumulated 4 million hours without any issue from the
14 safety point of view, it means that if you design the plant
15 from the very beginning, taking into consideration
16 selecting the right material, using, you know, codes,
17 whether it's NFPA or ASME, that are more strict for
18 hydrogen than natural gas, for example, if we select proper
19 sensors or devices that are around the equipment,
20 everything works well.

21 So my intention was mainly to, you know, address
22 some of those concerns.

23 Next slide, please. Next slide.

24 So this shows the two different combustors that
25 we are using. On the left side is the large frame gas

1 turbine, and on the right is the meat and small size. So
2 we are doing a big effort to, you know, develop a higher
3 content here.

4 Next slide, please.

5 This is a very important demonstration that we
6 did in Atlanta. This is a Georgia Power Power Station with
7 an advanced class gas turbine that operates at 1,500
8 degrees C. And if you look at it, there are two very
9 significant results from this demonstration.

10 If you look at the graph on the top, it shows the
11 NOx emissions for different loads. And you can see the
12 lines. The black line means the data we have measured with
13 natural gas. And you can see the blue line that is
14 basically the same or even slightly lower. So I have heard
15 in previous presentations like a fact that the NOx has to
16 go up, and that's not necessarily the case, and that is
17 because we have the capability of doing tuning.

18 And the graph below shows that we also have
19 benefit from CO emissions because we are putting less
20 carbon when you're putting less natural gas into the fuel.
21 So obviously, the amount of CO is lower, which is typically
22 the restriction for low loads.

23 I'm getting signals that I've run out of time. I
24 don't know if I can go to the last slide? I have more
25 slide, just to show that this is what I wanted to talk

1 about.

2 In the center, you see a power station that we
3 have developed in Japan. We have done validation through
4 real power stations for about 23 years. This is the latest
5 plant that we have. But if you see to the right-hand side,
6 and you see a lot of infrastructure in blue color,
7 including storage, piping to two different gas turbines,
8 and in the center, you see a building that says
9 electrolysis, that electrolysis generation facility is
10 already in operation. We're filling up the storage.

11 And very soon, we will start doing combustion
12 tests, not 24/7, not 24 hours, seven days a week, because
13 the storage is not enough, but several hours in the large
14 frame with, at this moment, 30 percent, and in the small
15 that you see on the left-hand side, with much closer to
16 100. So that's the way we're going to validate not only
17 the reaction of the gas turbines to a higher amount of
18 hydrogen, but also upstream, how is the hydrogen
19 generation.

20 So I'll stop here, because I run out of time.

21 MR. ORTA: Thank you. Thank you very much.

22 We will move on to our next speaker, Melanie
23 Davidson from San Diego Gas and Electric.

24 MS. DAVIDSON: Thank you very much. And thank
25 you for inviting SDG&E to participate in this important

1 conversation today.

2 So I'm really excited to talk about hydrogen for
3 its ability to help enable electrification in the power
4 sector. At SDG&E, we think about hydrogen not as a
5 competitor to electrification, nor as an alternative, but
6 really that key enabler that's going to allow us to
7 continue to provide reliable, cost-effective energy to our
8 customers. And I think that's ultimately the goal that we
9 have here is carbon-free, reliable energy on our grid. And
10 I think hydrogen is going to be a really important part of
11 getting us there.

12 Next slide, please.

13 In the spring of 2022, SDG&E came out with its
14 Path to Net Zero Study. And that study looked at the grid
15 in 2045 taking a 1-in-10 year loss of load expectation
16 perspective. And what the model showed is that not only
17 are we going to require 4x the amount of generation
18 capacity in the state that we currently have, but that a
19 significant amount of that is going to obviously be
20 renewables, but renewables and storage won't get us to all
21 of the reliability we need. There is a role for hydrogen.

22 And then when we compare that to the CARB Scoping
23 Plan, CARB Scoping Plan also for the 2045 scenario, it
24 looks at and sees that there is a significant need for
25 hydrogen generation to support reliability on our grid.

1 Next slide, please.

2 And what was really interesting about these two
3 studies is that the numbers aren't too far off for 2045.
4 So whether we're considering CARB's number of requiring 9
5 gigawatts of firm dispatchable hydrogen-based capacity in
6 2045 or 20 using the 1-in-10 year loss of load requirement,
7 we're going to need a lot of hydrogen on the grid for
8 reliability. And even further, CARB's model shows that in
9 2035, we will already acquire 4 gigawatts of hydrogen
10 capacity.

11 Next slide, please.

12 So time is going really fast. And we have until
13 2045. So how is SDG&E thinking about hydrogen adoption for
14 the power sector?

15 Here we are in the 2020s. We're really seeing
16 this as the opportunity for pilots. And that's what we're
17 doing. I'll talk about one of our more exciting pilots
18 today. But right now, costs are high. The industry is
19 immature. We're unclear what the policy directives are.
20 And we have significant reputational hurdles and
21 educational hurdles to overcome with this technology.

22 2030s, we're really seeing as the decade of
23 adoption. So the industry is going to mature. Prices will
24 come down. We'll see some pipelines enter into service.

25 And then 2040s, we're considering the decade of

1 mass deployment.

2 Next slide, please.

3 So when we think about this transition, 20 years
4 sounds like a really long time. But when you're talking
5 about significant heavy infrastructure investments, it's
6 not. And when we look to see how long the IOUs took to
7 procure 19 gigawatts of RPS eligible capacity, it took them
8 20 years.

9 And we're looking at the same scale of gigawatt
10 addition of hydrogen generation capacity over the same time
11 scale. And so we really think utilities must begin today.
12 And what's so interesting is that when we compare the
13 hydrogen transition to what we saw in battery and solar, as
14 you can see, the transition started really slowly in the
15 beginning. Technology was expensive. Over time, because
16 of the utility investments that were made, price came down
17 and scale was able to be achieved.

18 So we have good reason to believe that hydrogen
19 will follow the same trajectory. But we need to begin
20 those investments today. And SDG&E is doing just that.

21 Next slide, please.

22 So the Palomar Energy Center is SDG&E's largest
23 power plant. It's a 588 megawatt natural gas combined-
24 cycle plant located in our service territory. And in an
25 effort to begin really understanding how to operate

1 hydrogen assets, SDG&E is in the process of placing into
2 service a hydrogen system. So that system includes
3 dedicated on-site solar canopies to help offset emissions
4 to create the hydrogen. We're using electrolytic hydrogen,
5 so we'll have a 1.25 megawatt electrolyzer. And the image
6 you see here is that electrolyzer being delivered. It was
7 delivered on-site last week. And we expect it to be
8 operational by the end of the year.

9 We're also going to be using that hydrogen to
10 fuel some vehicles that operators at the power plant use to
11 visit our distributed microgrid sites and battery sites
12 that are all managed out of that power plant. And we will
13 be using it as a cooling gas. But the main goal is to
14 blend the hydrogen with natural gas in the combustion
15 turbine.

16 Next slide, please.

17 So here you can see the system design. So
18 electricity and water goes into the electrolyzer. We get
19 hydrogen out. And then we're demonstrating three use cases
20 of hydrogen, as I said, gas blending, generator cooling,
21 and hydrogen fueling.

22 What's really great about showcasing these
23 multiple uses is the significant operational learnings
24 SDG&E will achieve. SDG&E is an operating company. We
25 learn by building and doing so that we can scale this in

1 the future. So with this prudent investment of this
2 relatively small sized system compared to the scale of the
3 Palomar Energy Center, we're gaining expertise in hydrogen
4 engineering and system design, codes and standards,
5 controls, learning about valves, piping, and materials that
6 are proper for hydrogen integration, hazard mitigation,
7 risk management, the performance of hydrogen equipment,
8 cost implications, how to manage these assets and operate
9 them safely, developing standard operating procedures,
10 training staff, as well as represented employees, including
11 labor unions.

12 So it's really important to us to have these
13 small scale prudent investments in hydrogen so that as we
14 approach the next 20 years when we believe we will be
15 requiring significantly more hydrogen generation in the
16 system, we're prepared to deploy it in a safe and effective
17 way.

18 So thank you.

19 MR. ORTA: Thanks, Melanie.

20 We will move on to Kevin Pease from the Pacific
21 Gas and Electric Company, PG&E.

22 MR. PEASE: Thank you very much. Thank you for
23 the opportunity to be here. My name is Kevin Pease.

24 COMMISSIONER MONAHAN: I think your mic -- yeah.

25 MR. PEASE: Hello? Can you hear me? All right.

1 Thank you very much. Thank you for the
2 opportunity to be here. My name is Kevin Pease, and I'm an
3 engineer in PG&E's Greenhouse Gas Emissions Strategies
4 Team. I'm going to be highlighting a couple of projects
5 that we have involving hydrogen. One that we believe is
6 key to getting the midstream component of hydrogen
7 transportation completed, and another that showcases what's
8 possible with hydrogen electric generation today.

9 Next slide, please.

10 First is our Hydrogen to Infinity project. This
11 project is working, planning to be operationalized in 2026,
12 and it will be a large-scale research demonstration,
13 education, and market activation project for hydrogen
14 blending and natural gas transmission systems.

15 Significant global efforts have been completed to
16 understand issues and develop appropriate means to allow
17 safe and reliable use of hydrogen in natural gas systems.
18 Existing projects generally focus on natural gas blends in
19 lower pressure natural gas networks, and there are issues
20 that need to be addressed for higher pressure transmission
21 systems. The goal of the project is to provide a facility
22 which will address the significant issues and provide the
23 information necessary to support safe permitting and
24 implementation of blending into natural gas transmission
25 systems.

1 Data from the project will be shared with all
2 California utilities and will benefit national and
3 international utilities as well. Industry and research
4 associations will also benefit through reporting and public
5 presentations on the project results. The project will
6 facilitate market activation by providing multi-modality
7 hydrogen fueling station to serve heavy-duty and light-duty
8 hydrogen powered vehicles. And the project will serve as a
9 testing ground for various technology developers, ranging
10 from hydrogen production, power generation, gas separation,
11 leak detection, and inline inspection tools.

12 To highlight one aspect, leak detection, PG&E is
13 partnering with four teams being funded to develop parts,
14 excuse me, parts per billion level hydrogen detection
15 sensors. These teams are currently negotiating with the
16 Department of Energy for funding, and PG&E will host these
17 teams for field demonstrations of their sensors.

18 The Hydrogen to Infinity Project also includes
19 electrolytic hydrogen production and electric generation by
20 our project collaborator in Northern California Power
21 Agency, which Randy will talk about here in a moment. The
22 project will include testing facilities with a
23 comprehensive RD&D program, training facilities with a
24 workforce development program, supporting natural gas
25 pipeline workers for a future working with hydrogen. And

1 it will also include an internal and external stakeholder
2 education facility.

3 The project is in an area with a CalEnviroScreen
4 rating of 81 percent and is along a major transportation
5 corridor. This provides an opportunity for the project to
6 benefit the local community by creating additional jobs,
7 and the hydrogen fueling station will provide clean
8 transportation fuel to improve air quality in the area.

9 Ultimately, Hydrogen to Infinity will support
10 large-scale decarbonization of natural gas networks,
11 demonstrate gas-fired electric generation, and do so in a
12 cost-effective way by enabling us to leverage the
13 significant existing infrastructure of the natural gas
14 system.

15 Next slide, please.

16 The second project is located in the City of
17 Calistoga. This is in partnership with Energy Vault. This
18 project is going to be a hybrid battery and hydrogen fuel
19 cell system to be capable of powering the town and their
20 2,000 electric customers for up to 48 hours using nearly
21 300 megawatt-hours of carbon-free energy during planned
22 outages for public safety power shut-offs that occur to
23 prevent wildfire risk during red flag weather conditions.

24 The long-duration energy storage system is first
25 of its kind and integrates a short-duration battery system

1 for grid farming and black start capabilities, along with
2 long-duration energies supplied by the hydrogen fuel cells.
3 The project will also include liquid hydrogen storage
4 system for green hydrogen storage.

5 The system will be managed and dispatched by
6 Energy Vault's technology-neutral energy management system
7 to optimize performance and safety while minimizing
8 operational costs.

9 CPUC recently approved this project to proceed
10 for construction scheduled to begin in Q4 of this year,
11 with commercial operation expected by the end of Q2 2024.
12 PG&E envisions this project to become a template for clean,
13 renewable, community-scale microgrids.

14 Next slide, please. Thank you very much.

15 Any questions that you have for us at PG&E can be
16 sent to hydrogen at pge.com. Thank you again, and I'll
17 pass it to Yuri.

18 MR. ORTA: Go ahead. Go ahead, Yuri.

19 Thanks, Kevin.

20 You know I'll wait for a second for my slides.
21 Good. Good afternoon, and thank you for the opportunity to
22 be here today. I think this conversation is very
23 important, and what I'm going to do in my short
24 presentation is to touch upon some of the analytical work
25 that we did to analyze the impact of and the importance of

1 clean fuels and hydrogen for reliability.

2 But before I do that, you know, I reflected a
3 little bit on the panels this morning, and I just wanted to
4 maybe take conversation one level up. I really appreciate
5 Vice Chair Gunda's comments that clean fuels, clean
6 molecules are very important to us as a state, as a
7 country, on a global level.

8 But where I wanted to go is that in light of that
9 importance, we need, while keeping in mind all the aspects
10 that we should be focused on, such as safety, such as
11 impact on air quality, and the indirect greenhouse gas
12 impact, we should really think about scaling this up at the
13 same pace that we are scaling the green electrons.

14 And the reason I'm saying that is that the
15 analysis that was done by Bloomberg suggests that if you
16 ask the fundamental question, how are we going to use
17 energy in a carbon-free world, the answer is actually it's
18 about 50-50 split between electrons and molecules. That,
19 to me, was a very profound conclusion. That, by the way,
20 stands on the shoulders of the fact that today 80 percent
21 of our needs are supplied by molecules on a global scale.

22 So several things jump out of it immediately, but
23 one of them is that they are equally important. And I
24 think we would all agree we accomplished world-class
25 success in electrons. We have a lot of work to do on

1 molecules. And in fact, reliability is one of the key
2 points that connects them together, because we cannot
3 advance too far one of them without taking proper care of
4 the other, which is where reliability comes in.

5 We've done some work to look into this deeper --
6 a let's go to the next slide, please -- and we conducted a
7 clean fuel study a couple of years ago. And recently, we
8 updated this and expanded that with our reliability
9 analysis.

10 The short of it is that if you analyze
11 reliability in the context of the loss of load
12 expectations, which is, I think, how we should be looking
13 at that, that unsurprisingly brings to fore the role of
14 molecules, and we need more of them than if you don't.
15 That's the simplest way to think about that. So not only
16 the combination of electrons and molecules is the most
17 affordable, it is actually also the most resilient. And we
18 have both studies on our website, happy to share them.

19 This is, by no means, the end of the work. But
20 in my mind, this is what I see can play a major role and
21 while we commend inclusion of reliability into the
22 analysis. But to me, the question is, first of all, is not
23 whether you include it or not, you have to.

24 Second of all, what are your assumptions on that?
25 Because I heard just recently Chair Randolph speaking about

1 that maybe 1-in-10 is not adequate assumption. Because if
2 we are looking to electrify homes and mobility, then we
3 want to be sure that the resiliency that comes with that is
4 going to keep people, obviously, safe and at the level of
5 their expectations.

6 So these are, to me, very important points. And
7 I just wanted to make them early on. I realize that time
8 to talk about this now is very short.

9 Let's go to the next slide.

10 And the next slide is an important point. We
11 summarized some of the policy recommendations. I will say
12 that, and Commissioner McAllister touched upon this earlier
13 on, what would it take to create a thriving, vibrant
14 hydrogen ecosystem, which is all we're trying to do? And
15 Tyson is working very hard on that, as well as many others.

16 There are four pillars of that, in our view.
17 It's supply, demand, it's the connectivity, and then
18 there's the market structure. And we, as people who
19 provide this connectivity today on natural gas, we see how
20 crucial it is to provide that connectivity between supply
21 and demand. Because I think while there is production
22 potential next to demand sources, I think the economics of
23 production points to the fact that we will need to produce,
24 ultimately, a lot of hydrogen far away from a load, where
25 the land is more abundant, where the solar energy is more

1 higher quality. But that means we need to bring those
2 molecules of scale. And we all know how hard it is to
3 build these projects.

4 So that, to me, is where the Commission can play
5 a major role into aspects in both, and also the market, and
6 also in land use planning. Because the CEC has a rich and
7 successful history in the Renewable Energy Transmission
8 Initiative and other initiatives, which could be fully
9 applied. We should be fully applied to this. So that, in
10 my mind, is what's so important.

11 We, as you all know -- let's go to the next
12 slide -- are developing a large pipeline project, Angeles
13 Link, that aims to do exactly that, bring large amounts of
14 renewables that can make a very large greenhouse gas
15 impact, also very large air quality impact. Because, as I
16 think the CEC analysis suggests, transportation, especially
17 heavy-duty, has tremendous potential for displacement of
18 diesel by hydrogen. And we really look forward to working
19 with the Commission with other stakeholders on this.

20 And maybe I'll wrap up on the note where I
21 started. Both electrons and molecules are important. I
22 was thinking about a metaphor to describe that. And since
23 now is the U.S. Open, I could think about, you can have a
24 world class forehand; if you don't have a backhand, you're
25 going to be in a very precarious position.

1 We in California have a world class forehand with
2 our electrons. We should develop the world class backhand
3 with molecules. And then we can be number one in the
4 world.

5 Thank you.

6 MR. ORTA: And with that, I will serve the ball
7 over to Randy Howard from NCPA.

8 MR. HOWARD: Thank you. Let me jump right in
9 because I watched this time clock go and it goes really
10 fast.

11 So next slide, please.

12 Thank you for the opportunity to share a little
13 bit about NCPA, a little bit about the Lodi Energy Center
14 and the hydrogen project that's going on down there.

15 So NCPA is a joint powers agency. We have 16
16 members. We also support a number of the CCAs, as well,
17 with both procurement and scheduling services. We serve
18 about 700,000 residents in Northern California.

19 Next slide.

20 So the Hydrogen Center, as proposed, it's
21 currently our Lodi Energy Center. It's one of the newest.
22 It's a fast-start unit, came online in 2012, so one of the
23 newest for California, a very low emitting power plant
24 today. And we're moving forward with that plant and trying
25 to make sure that we can repurpose this investment that the

1 communities have made to be zero-emission output into the
2 future.

3 And so it's centrally located in Lodi, so near
4 the Bay Area, but also just on the northern end of the
5 Central Valley. It sits along the I-5 corridor. And we
6 also can support one of our members, the Port of Oakland,
7 through this project as proposed.

8 Next slide, please.

9 So some of the basics that we're proposing to do
10 there is we have a number of renewables in our portfolio
11 already that support the needs of our members. Some of our
12 members are already 100 percent emission-free in their
13 portfolios. And that means they have excess quite often.
14 It means we have excess at certain times of the day,
15 certain times of the year into our supply.

16 We use recycled water currently. Our plant sits
17 adjacent to reclaimed water facilities for the city of
18 Lodi. So we use it for our cooling system. We have plenty
19 of excess water to produce hydrogen there.

20 We already have a very large transmission
21 interconnection for that facility. Our objective here is
22 to utilize that same transmission interconnection to serve
23 a load of electrolyzers when we're not using it to produce
24 power out of the facility and sending it back so we don't
25 feel we need a new transmission there. We're going to use

1 this primarily as a storage tool so we can store our excess
2 renewable energy onsite as hydrogen and then use it in our
3 turbines when our turbines are operational.

4 Next slide, please.

5 Multiple benefits. So in 2019, we had an
6 opportunity to upgrade our turbine at that location.
7 Siemens is our O&M provider there. And so we spent \$50
8 million upgraded to a turbine. It's capable of a 45
9 percent hydrogen blend today. We believe we'll be capable
10 of 100 percent by 2028.

11 We also plan on providing additional hydrogen and
12 producing it at that location to support PG&E's activities,
13 but also to support activities at the Port of Oakland and
14 the airport of Oakland, as well as the transportation
15 sector along the I-5 corridor and the 99 corridor that kind
16 of are the boundaries of the city of Lodi.

17 So the initial phase is to have about 60
18 megawatts of energy storage on site. That shows our
19 production capability and the proposed cost for this
20 project.

21 Next slide, please.

22 Tried to show you here a depiction of that
23 location. So it's a very rural area. It's an agricultural
24 area. The City of Lodi owns about 1,000 acres around us
25 that have been available for this project. And you can

1 kind of see the sewage treatment ponds that sit adjacent to
2 our facility. You can see the I-5 corridor. And nearby as
3 well, within about a mile, we have a rail corridor that's a
4 direct link to the Port of Oakland. So right now that
5 we're contemplating that we would send green hydrogen down
6 to the Port of Oakland over rail, probably not by truck.

7 So next slide, please.

8 This gives you a little more pictorial, a little
9 closer up. In the lower part is the existing power plants
10 that we have on site there, the pondage that's available,
11 and where we're proposing to put the electrolyzers. So
12 these come in 60 megawatt blocks. And this is how we're
13 proposing to lay them out at the location.

14 And again, you can see the proximity to the I-5
15 corridor across the freeway from us in that kind of
16 triangle there is where we're proposing to have PG&E's
17 project and support their needs over there, as well, and
18 have a large heavy-duty truck refueling station located.

19 Next slide.

20 Another pictorial, just kind of a closeup of what
21 we're proposing to build out there. And we can
22 incrementally build this out as we have the funding and the
23 need, as well as the renewable resources available.

24 So one thing I did want to mention is
25 additionality that was mentioned earlier. We don't think

1 that is necessary. We don't think the federal government
2 should implement any additionality. It wasn't contemplated
3 in the legislation. And for a state like California that
4 already curtails large quantities of renewable energy many
5 days of the year, we don't think that is the right
6 approach. We think we need to more efficiently use those
7 renewables that we have available instead of curtailing
8 them. That's what this project is really about. We don't
9 think it needs to wait until you build new renewable
10 facilities.

11 To the far right is where we're proposing to have
12 refueling trucks. These would support the transportation
13 sector and anybody else that was looking to receive green
14 hydrogen.

15 Next slide.

16 This is, again, rendition of what we're thinking
17 the trucks will look like as they go by the electrolyzer
18 field. They'll come in empty and we'll fill them up and
19 send them back out to support the other industries.

20 Next slide.

21 Again, showing just a refueling station rendition
22 that we're proposing to build out there. Not our normal
23 business, not something I would really venture to get into,
24 outside of our communities have made it very clear,
25 reducing the emissions and the emission footprints near the

1 communities is extremely important. And where so many of
2 my communities that I serve sit along some of these major
3 freeway corridors and impact the air quality of those
4 communities, they're very supportive of us proceeding with
5 this and supporting the transportation sector.

6 Next slide.

7 These are the Hydrogen Center participants. You
8 can see PG&E, City of Lodi, Siemens being the technology
9 partner, the Port of Oakland, and University System.

10 And next slide just kind of shows the
11 participants that are the joint owners in the Lodi Energy
12 Center today. And as you can see, the California
13 Department of Water Resources, they're the single largest
14 owner of the project. But we also, through this project,
15 serve BART and many other utilities.

16 So thank you.

17 I think that should conclude my presentation and
18 I look forward to questions.

19 MR. ORTA: Thank you, Randy. And thanks to all
20 our presenters.

21 There's lots of discussion questions that we
22 prepared for this and we would love to get answers to all
23 of them but our time is limited. So I'm going to focus our
24 discussion, since we have a good size panel and not a lot
25 of time, I'd like to focus our discussion on two questions.

1 If we have time, we'll try another one.

2 So the two questions I'd like to focus on are:
3 What do you see as the largest barrier to scaling hydrogen
4 use in the electricity sector, and what recommendations do
5 you have for overcoming these barriers?

6 So I'm hoping to hear all your perspectives
7 but -- so please, who would like to take a stab at those
8 two questions.

9 Randy?

10 MR. HOWARD: Yeah, I'll jump in first. Obviously
11 for those of us implementing this early on, it's cost, cost
12 and cost, you know, really looking for some of the levels
13 of subsidies to be able to demonstrate the technologies.

14 I think you heard earlier some of this, while
15 there's some unknowns, we need to proceed. We don't have
16 time to wait around, we need to proceed. And some of this
17 we're going to learn along the way. But with that comes
18 some additional elements of risk.

19 I will make one point that was -- there was some
20 comments earlier about, we're going to increase NOx. Well,
21 I can tell you, NCPA installed this new turbine in
22 2019/2020. We were currently -- previously we were at
23 about 25 PPM NOx. Once we installed the new technology, we
24 went down to 9 PPM, so from 25 to 9. In our modeling,
25 we're going to go up to 12 PPM with the hydrogen blend.

1 And yet then we put that through the catalyst and then
2 we'll go down to 2 PPM with the catalyst. And this process
3 with using hydrogen will reduce our ammonia usage by 50
4 percent. So that's what we're seeing.

5 So I just want to put that out there because a
6 number of people have been very concerned about increases
7 in NOx. But this new technology, because we're basically
8 upgrading these turbines, we're coming in right out the
9 gate with lower NOx than anything that's producing today.
10 So wanted to make sure we brought that out.

11 MR. ORTA: Thank you, Randy.

12 Yuri?

13 MR. FREEDMAN: Thank you, Jason.

14 I'll go back to what I know I briefly covered in
15 my remarks. In my mind, there are those four pillars that
16 make a successful ecosystem for any commodity, it's supply,
17 demand, connectivity, and the market structure.

18 I would say that the federal and state incentives
19 on the supply side actually make it a reality. Between the
20 federal tax incentives and the LCFS, there's plenty of
21 people who want to produce hydrogen. On the demand side,
22 it's been an issue because, as I think Randy and others
23 know full well, you out in the transportation sector have
24 maybe insufficient incentives to invest money today to
25 convert to hydrogen. And DOE, at the federal level,

1 recognize that, and that's why they set aside recently \$1
2 billion specifically for demand-side incentives, but more
3 needs to be done there, the second pillar.

4 We are very intimately familiar with the third
5 pillar. And, again, it's critical to get it right and to
6 get it on time because transportation today, transportation
7 of hydrogen is at least as much or more of cost of
8 delivered hydrogen to the consumer. So when we think about
9 production, which is super important, realize that we need
10 to build pipelines to get commodity at scale at a cost that
11 is going to be affordable. That is how molecules are going
12 to get transmitted. So that to me is very fundamental.

13 And that combined with the permitting time, we
14 have to get our heads around this, how we're going to make
15 that happen. Because if we want it at scale, it starts
16 cascading decisions about where you make it. That drives
17 decision how we transport that.

18 And the fourth, not to belabor the point, market
19 structure is very important because depth and liquidity is
20 what ultimately brings benefits to consumers. It also is
21 important to think about the infrastructure that underpins
22 that. And the way we do it here, have been doing natural
23 gas market, of course, for a while is open access
24 infrastructure. It's something where producers and
25 consumers can get access to infrastructure on non-

1 discriminatory transparent basis.

2 This, to me, are important pillars to get right.
3 I know it's a lot, but that is the market that we need to
4 work to create.

5 MR. ORTA: Great. Thank you.

6 Kevin?

7 MR. PEASE: Yes. Thank you.

8 So definitely echoing what's been said already,
9 affordability is a key component. And I love that Yuri at
10 SoCalGas is jumping in with 100 percent hydrogen pipeline.
11 I think that that is amazing.

12 I think that in the shorter term, hydrogen
13 blending into existing natural gas networks is going to
14 really facilitate moving the hydrogen from production to
15 end use. And we really see that the existing network is
16 the most cost-effective way to do this. And yeah, I
17 actually hadn't heard about the demand-side incentives, so
18 that's super encouraging as well.

19 So I'm hearing what Tyson had shown earlier, a
20 lot of projects planned and moving the hydrogen from source
21 to use, I think is going to be key, and especially in
22 keeping it affordable.

23 MR. ORTA: Thank you.

24 Carlos, is there anything you would like to add?

25 MR. KOENEKE: Yes, the first comment I have is

1 the second comment about NOx. As I show in the validation
2 or demonstration that we did in Atlanta, it was exactly the
3 same machine. So even for the same machine, the same
4 combustors and everything, we were able to tune to keep the
5 NOx within the -- like slightly lower. So even -- it's
6 just a matter of being able to tune the unit with a mix of
7 hydrogen.

8 And the second point I wanted to mention is
9 related to that hydrogen part that we are going to start
10 operating in Japan soon, that a lot of the results will be
11 very helpful for the ACES project, because the gas turbine
12 that is running at that facility is exactly the same type
13 that are going to be in operation in ACES. So that's going
14 to be very useful.

15 MR. ORTA: Okay, great. Thank you.

16 We still have some more time, so the next
17 question I'd like to focus on is: What are the biggest
18 opportunities to reduce the costs of hydrogen in electric
19 sector applications? And this can include production,
20 storage, transportation, and end-use conversion.

21 You know, and since we don't have a lot of time,
22 let's focus on -- let's add a little bit to that and focus
23 on what we can do in the near term. So if I'd like to go
24 ahead?

25 MS. DAVIDSON: Yeah. Thanks, Jason.

1 I think that what we can do in the 2020s, like I
2 said, this is the decade of pilots, and so working with
3 manufacturers, working with equipment suppliers, putting
4 the equipment to the test, giving those market signals that
5 there are buyers out there that we do want to incorporate,
6 or actually not want, we need to incorporate hydrogen to
7 the power sector can help reduce the cost of the equipment.

8 So, for example, electrolyzers, DOE, roadmap puts
9 out that the cost should come down by 60 percent by the end
10 of the decade. That's not going to happen unless there's
11 market signals that folks are going to be purchasing that
12 equipment. So these early movers in the industry are going
13 to make huge headway for everyone else to enjoy that grid
14 reliability that hydrogen will provide in the decades to
15 come.

16 And I also think that we need to solve this
17 transportation problem, which pipelines are going to do.
18 So in lieu of having electrolysis on site, which we heard
19 earlier from the CEC presenter, requires significant amount
20 of land, most power plants don't have that, the option is
21 really to truck in liquid hydrogen which, you know,
22 depending on whether or not those trucks are ICE trucks or
23 ZEVs, could end up bringing more pollution to communities.
24 And it's going to be expensive to do that.

25 So pipelines are going to be critical

1 infrastructure in order to make sure that those nine
2 gigawatts, according to CARB or potentially more are able
3 to be served.

4 MR. ORTA: Great. Thank you.

5 Any other input on cost reductions?

6 Randy?

7 MR. HOWARD: Yeah, I'll just add a few.

8 And again, I think it's being incorporated in our
9 project, is how do we repurpose some of these existing
10 facilities? And I think that's part of the IEPR is to
11 really look at, you know, how do we take these existing
12 power plants that are already interconnected with large
13 transmission interconnections, that are located near load
14 centers, so it's very, very important. They have a
15 workforce, typically a labor union associated with that
16 workforce.

17 And so the conversions, I think some of your
18 least cost approaches to get up and running with both the
19 production that could serve a broader group, such as the
20 transportation sector, as well as meet some of the needs of
21 the power plant. So I think quickly identifying some of
22 those and those opportunities, I think will be some of the
23 least cost to move us along a little faster.

24 MR. ORTA: Yuri?

25 MR. FREEDMAN: Yeah, maybe I'll just make one

1 point, where I think hydrogen is unique, I know there were
2 references to it earlier, in that it actually has a very
3 cross-sectoral end use. It, in theory, could serve all the
4 uses that natural gas users serve today and transportation.

5 So that actually leads to the thinking that let's
6 think about all the end-use sectors because this is the
7 ability to spread cost of adoption of a new commodity over
8 larger universe of end users, because every transition is
9 hard and slow and difficult. We need to make it faster so
10 we should think about the sector coupling.

11 And specifically what I'm getting at is
12 transportation. Truck companies would like to build fuel
13 cell vehicles, but before they build those vehicles, they
14 want to be sure that there's enough demand. Enough demand
15 hinges on, first and foremost, on price. They look at
16 California, which is one of the major markets in the world,
17 and they want to see that there are steps that we are
18 taking to make this fuel affordable.

19 So that to me is a very short line to thinking
20 what can we do as a state to make that happen? I think
21 that the regulatory clarity and the land use clarity are
22 major steps which we can take to give them more confidence,
23 which will then start a virtuous circle, but we have to
24 show the real credible steps in that direction.

25 MR. ORTA: Thank you.

1 MR. PEASE: Thank you. Yeah, speaking of a
2 virtuous circle, I think that a feedback loop between
3 renewable energy generation and hydrogen production is
4 really going to reduce costs. As more solar and wind are
5 deployed, hydrogen production will come down, and I think
6 that that's really going to catalyze the industry.

7 MR. ORTA: Thanks, Kevin.

8 And anything from Carlos?

9 MR. KOENEKE: Yeah, the comment that I wanted to
10 make is when we were working on the ACES electrolyzer
11 selection, we compared three different types, the
12 atmospheric alkaline, pressurized alkaline, and PEM. And
13 of course, it's a complex comparison, but one of the things
14 that drove us to use pressurized alkaline is the fact that
15 the turbine needs the fuel at a high pressure, and
16 therefore, if you do something like atmospheric, you will
17 have to use compressors, and compressing hydrogen can be
18 complex and expensive. So one way we think is a good
19 alternative to reduce the cost of producing hydrogen at the
20 site is to use a pressurized.

21 MR. ORTA: Great. Thank you very much.

22 I will pass it on to Commissioner Monahan to see
23 if you have any questions for our panel.

24 COMMISSIONER MONAHAN: And I just want to say
25 that my fellow CPUC Commissioners got called away to the

1 same meeting with the Governor's office, so I'm alone here
2 on the actual dais, and I think I might be alone right now
3 on the virtual dais. I know Commissioner Houck had a
4 conflict, and I don't see Commissioner Douglas [sic].

5 So let me just say first, this is a really
6 interesting panel. And it's really great to see the
7 investments that utilities are making across the state to
8 explore the role of hydrogen, really look into producing
9 hydrogen with electrolyzers and evaluating the potential
10 role in the electricity sector and the transportation
11 sector. I think the two really are complementary, and we
12 should be looking at this as a holistic strategy,
13 especially in the early days as we're trying to figure out
14 how do we produce low carbon hydrogen, how do we drive down
15 costs by building scale.

16 And what gives me -- it's been interesting to see
17 how for a long time the electricity sector, we never talked
18 about it. I mean, this has been only in the last couple of
19 years, really, that things have escalated, you know, that
20 the expansion of hydrogen into the grid is being seriously
21 considered.

22 And I want to just point to the fact that this is
23 a global phenomenon, and what's really driving it in the EU
24 has been war in Ukraine and a recognition that they have to
25 get off Russian gas, and they need reliable supplies of

1 energy. And it's been -- I think, we talk a lot about IRA
2 and how transformational that is, but I would just say that
3 the war with Ukraine, between Ukraine and Russia, has
4 really brought this to the forefront in terms of we need
5 reliable power sources from just a global security
6 standpoint.

7 And I also feel like from a how do we build scale
8 globally, that gives me hope, because for a long time,
9 California was kind of alone. I would argue we do way more
10 than Japan, we've done way more than Germany, and -- but we
11 can't do it alone and it has to be a global transition. So
12 I think everybody globally, at least in the EU and the
13 U.S., is exploring this nexus.

14 I do think it's good to hear that NOx emissions
15 have been, at least from the facilities that are here
16 represented, have not found a problem. I think it's worth
17 considering to explore that, continuing to explore that.
18 We are exploring that as an agency, and I know CARB cares
19 deeply about this, but we need to make sure that we aren't
20 increasing smog as we decarbonize our economy.

21 And so just getting additional studies on that, I
22 think it's going to be really helpful, and understanding
23 the processes. I don't know if there's specific processes
24 that anyone here can talk about that help to minimize NOx
25 emissions. I mean, from just a general standpoint, higher

1 temperature combustion should lead to more NOx. And so
2 there are definitely process aspects to this, I think, that
3 we want to learn from. So I would say maybe not in this
4 IEPR workshop, but just anything you can submit to the
5 docket so we can better understand that, I think will be
6 really helpful.

7 I wanted to just talk or ask questions actually
8 about the pilot projects that are going on and the hope in
9 terms of, I know by the end of 2023, but this year, we're
10 going to have one project at least online. What's your,
11 like in terms of the next two years, what can we hope to
12 glean from these pilot projects that would help inform
13 where the state is going?

14 MS. DAVIDSON: Well, since SDG&E is the one that
15 will be online, I'll respond to that.

16 So we're going to be getting a lot of data from
17 the project and operational experience and learnings, which
18 we hope we can then apply to future projects as required to
19 maintain system reliability. And we're also training our
20 staff, which is really, really important with a new gas, a
21 new technology like this.

22 So I think those are going to be our main
23 priorities in the next two years, understanding the
24 equipment, understanding the operating procedures,
25 understanding emissions impact and things like that, and

1 then taking our learnings and ideally scaling them at other
2 generating facilities where appropriate.

3 So we're also very interested in integrating
4 batteries into gas facilities, potentially bringing in
5 hydrogen. So, you know, all options on the table to help
6 decarbonize our natural gas assets and bring us to the
7 reliability that we need. But certainly 2035 is looming
8 large where 90 percent energy needs to be clean. And so
9 it's not too far away.

10 This project started in 2021, so -- or 2020, I
11 believe the ideation began, and will be in service at the
12 end of 2023. And it's a relatively small-scale pilot. So
13 if you think about scaling this to a large facility, the
14 lead times obviously get longer, the investments are
15 larger. So this is our first foray into this.

16 And we also hope to host whoever wants to come
17 and learn so we can really be an educator of other folks.
18 And that's a legacy that we're really proud of on the
19 battery side. And we hope to continue that on the hydrogen
20 side so that other utilities and LSEs can learn about
21 integrating hydrogen into their operations.

22 MR. PEASE: So our project will not be
23 operational in the next couple of years, but in the next
24 year or two after that.

25 So in the meantime, we're going to be working

1 hard to understand our system, all the material aspects of
2 it, and developing the research program that would take
3 place at Hydrogen to Infinity so that we can close all the
4 gaps in preparation for a system-wide hydrogen blending
5 standard where we are in contact with Sandia National
6 Laboratory and their Hydrogen Effects on a Materials Lab,
7 and their subject matter experts in the area. So we plan
8 to be developing the testing protocols and through the
9 detailed engineering design of the Hydrogen to Infinity
10 project, better understand exactly what needs to take place
11 on the ground hydrogen blending.

12 COMMISSIONER MONAHAN: It seems like there might
13 be an opportunity for you to lend your hydrogen detection
14 tool to SDG&E too. I think that's something also we're
15 very curious to better understand what's happening.

16 MR. PEASE: Yeah, so one aspect of the Hydrogen
17 to Infinity is a testing ground for leak detection trials,
18 and also dispersion, so understanding how a hydrogen leak
19 would be dispersed. And so we offered our facilities to
20 teams developing these sensors. So they're not our
21 sensors, but definitely happy to put you in touch with
22 anybody.

23 MS. DAVIDSON: Thank you. And Kevin and our team
24 are also separately working on the hydrogen blending
25 application on the gas system where leak mitigation and

1 detection is a very important component that the CPUC wants
2 us to look into. So currently, the parts per billion
3 leakage detection systems are still in development, but
4 we're very keen in understanding how we can work with
5 universities that are getting this DOE funding to deploy
6 them.

7 And also just a comment on hydrogen leakage.
8 Hydrogen is really expensive and it's basically a precious
9 commodity right now. So our systems are being built brand
10 new, functionally leak proof. And certainly, I don't think
11 anyone would go about designing a hydrogen system with
12 leakage rates greater than any 0.000 X percent because it
13 really is quite expensive right now. And, also, it's just
14 the right thing to do. And these things are being properly
15 engineered and has opted on a risk mitigation is very
16 important.

17 So I think that, you know, potentially large-
18 scale deployment leak issues, yes, definitely need to be
19 better understood. But for these pilot projects, they are
20 generally newly built and have very high integrity. And so
21 I don't think leakage in any way is going to be an issue.

22 COMMISSIONER MONAHAN: That's great to hear.

23 So, you know, we hear a lot about LADWP's
24 ambitious plans in hydrogen. And it sounds like, at least
25 from what I'm hearing from the small representation of

1 utilities, with the exception of SoCal gas, of course, it
2 doesn't sound like you're committing at this point. You're
3 in the exploratory stage, trying to figure out what's the
4 role of hydrogen. Is that a fair characterization?

5 MS. DAVIDSON: I can comment on that. I think a
6 difference between LADWP and at least the IOUs is our
7 regulatory -- or our regulator.

8 COMMISSIONER MONAHAN: Um-hmm.

9 MS. DAVIDSON: So the City of Los Angeles has
10 made it clear that their climate directive is, I believe,
11 ten years ahead, I think it's 2035, and they've approved
12 LADWP going ahead with this ambitious transition of
13 Scattergood, whereas the IOUs, obviously we have a
14 different regulator. And so regulatory directives matter
15 here.

16 And so when it's the right time and when our
17 regulator asks us to or authorizes us to make these
18 transitions at the right time, we're certainly happy to do
19 that. But it's challenging to get too far ahead of your
20 regulator as an IOU.

21 COMMISSIONER MONAHAN: That makes a lot of sense.
22 Thank you.

23 MR. HOWARD: Yeah, I would concur with the
24 statement on the POU versus the IOU in this case. At NCPA,
25 we've already spent the \$50 million. The turbine is

1 installed. We're capable today of a 45 percent blend. So
2 our next phase of our project really is to build out the
3 electrolyzers, the production, as well as the storage and
4 the blending skid for that.

5 So, you know, our steel is in the ground. We're
6 operating today. Obviously, we're operating with natural
7 gas until we get the other components. We are a Tier 1
8 project in the ARCHES process. So obviously, the funding
9 will assist us in how fast we go and how big we go, but
10 we're going regardless. And we have that commitment from
11 the owners.

12 COMMISSIONER MONAHAN: Randy, what's your
13 prognostication for how big you will go?

14 MR. HOWARD: Currently, we continue to work with
15 our members that by 2028 we should be 100 percent hydrogen
16 at that location.

17 COMMISSIONER MONAHAN: And would 100 percent of
18 the hydrogen be produced proximate to the location?

19 MR. HOWARD: That's our objective.

20 COMMISSIONER MONAHAN: And did you --

21 MR. HOWARD: Our biggest concern right now
22 remains storage. Storage is quite expensive. So the
23 initial phase is about ten hours of storage of fuel on
24 site, but also being able to support transportation, being
25 able to support PG&E's project. Beyond that, we're looking

1 at other storage options, but that's probably our biggest
2 challenge at the moment is trying to determine where else
3 we could store produced hydrogen to ensure that we have a
4 reliable supply to meet 100 percent.

5 COMMISSIONER MONAHAN: And have you done the
6 spatial constraints on the electrolyzers and that? Have
7 you sort of mapped out where you could put the
8 electrolyzers to be able to --

9 MR. HOWARD: So I tried to show that in the
10 rendition.

11 COMMISSIONER MONAHAN: So that's for the entire
12 system? I thought that was just this one pilot piece of
13 it.

14 MR. HOWARD: So we have a thousand acres
15 available to us that's owned currently by the City of Lodi,
16 one of the partners and owners in that project, and so
17 they've made that available. And they said incrementally,
18 obviously, we can continue to build out phases of storage.
19 We can continue to build out phases of that project.

20 COMMISSIONER MONAHAN: Great.

21 Yuri, you're chomping at the bit.

22 MR. FREEDMAN: I'm the only non-electric utility
23 here, so with that major caveat, I think, and I'm sure you
24 know this, Commissioner, but the data points at the state
25 level suggest that we need multiple gigawatts of hydrogen

1 power generation. The question is how to connect that with
2 reality at the utility level where people have to make
3 capital investment decisions?

4 But again, just in terms of order of magnitude, I
5 recall the Air Resources Board, 9 gigawatts, I believe is
6 the number that they came up with. I've seen, I actually
7 haven't seen the full analysis, but I've seen the
8 conclusions that the Environmental Defense Fund and Clear
9 Air Task Force came up with. I believe the range there was
10 25 to 40 gigawatts of term dispatchable generation. And if
11 you are aiming to not emit the hydrogens, probably the top,
12 if not the only choice at scale.

13 So these are big numbers. And the question to me
14 becomes, how does the state frame its policy to make sure
15 that these numbers, these goals, that ultimately are driven
16 by reliability and resiliency? How to translate that into
17 the decisions of individual participants is the policy
18 question.

19 MS. DAVIDSON: And I think layering on the time
20 scale, as I talked about in my presentation, 20 years is
21 really not that much time, given the scale of what we think
22 is going to be required to maintain grid reliability. So
23 now is definitely the time to be having these
24 conversations.

25 COMMISSIONER MONAHAN: No, we really appreciate

1 it. I know we're butting up on time, but really appreciate
2 these conversations. And I think, you know, as I said
3 earlier, and I think the Vice Chair said as well, you know,
4 we're really trying to map out. Right now we're in a
5 scenario-based approach around what could happen. We don't
6 know. Let's look at different scenarios.

7 Where the rubber hits the road is when we start
8 integrating it into our demand forecast and we say, this is
9 how much electricity we're going to need, clean
10 electricity, in addition to just meeting what our base
11 load. If, you know, we're producing the hydrogen here,
12 what does that mean in terms of our electricity generation
13 needs?

14 And so it's very -- and as we all know, these
15 are -- then procurement follows, and these are big, that
16 big implications once it gets incorporated in our demand
17 forecast. I don't think we're there yet, but we're
18 definitely in an exploratory state.

19 Thank you. This is great, a great panel.

20 MS. RAITT: All right, Commissioner, are we ready
21 to move on to the next one?

22 COMMISSIONER MONAHAN: Yes.

23 MS. RAITT: Okay. Thank you so much, Jason, and
24 thank you to Yuri and Kevin and Melanie and Randy for that
25 panel, that was really helpful.

1 So next we'll move on to the next one on
2 transportation. And Tomas Ortiz is a Supervisor for the
3 Energy Commission's Hydrogen Refueling Infrastructure, and
4 he'll go ahead and moderate that for us. Thank you.

5 Go ahead, Tomas, Tomas.

6 MR. ORTIZ: Hi, good afternoon. Sorry about
7 that. I think we're good now.

8 So yeah, joining us today on this panel is going
9 to be, in the room, we have Matt Miyasato, who's the Vice
10 President of Strategic Growth and Government Affairs for
11 First Element Fuel. Also in the room is going to be
12 Salvador Llamas, who's the Chief Operating Officer for AC
13 Transit. And then joining us online, we have Benjamin
14 Happek, who's the Senior Manager for Eco-Friendly
15 Commercial Vehicles for Hyundai, and Mike Galvin, the
16 Director of Commercial and Waterfront Real Estate for the
17 Port of LA.

18 So we're going to start with presenters in the
19 room, and that is going to be Matt Miyasato leading us off.

20 MR. MIYASATO: Great. Thank you, Tomas, and
21 thank you to the Commission staff, and of course,
22 Commissioner Monahan for inviting First Element to
23 participate. Really do appreciate the opportunity.

24 As Tomas mentioned, I'm Matt Miyasato, the VP for
25 Strategic Growth and Government Affairs. And I do want to

1 start off with describing a little bit about who First
2 Element is, if you'd go next slide, please?

3 So First Element, we are a purpose-built, small
4 California company that was started just ten years ago.
5 And the mission of our company is to provide -- our sole
6 mission is to provide hydrogen refueling infrastructure to
7 enable the transition to zero-emission transportation.

8 So our three founders started ten years ago with
9 the investment from two major OEMs, automotive OEMs, some
10 Japanese investors, but more importantly, with a fairly
11 sizable grant from the California Energy Commission. And
12 with that grant, we were able to establish the first 19
13 stations, or one of the first 19 stations within
14 California, and you can see from this map, now we have
15 about 40 hydrogen fueling stations throughout the state,
16 about evenly divided, 20 in the greater L.A. region and 20
17 in the Bay Area.

18 And we consider ourselves to be the market leader
19 in retail hydrogen fueling, not only in the state of
20 California, but anywhere else in the world because of
21 California's aggressive policies, we have more throughput
22 than any retail throughput than anywhere else in the world.

23 And so I just want to highlight the fact that we
24 are the poster child for the state's aggressive reduction
25 of greenhouse gases and criteria pollutants, combined with

1 their aggressive policies and appropriate incentives to
2 really enable a market. And so we are kind of the poster
3 child for that strategy.

4 If you go to the next slide?

5 So we started off with the state-of-the-art
6 fueling station. This is 2018. You can see in that little
7 red arrow. That was a single dispenser gaseous hydrogen
8 fueling station, 250 kilograms. But you can see this long
9 line of vehicles, and this is no way to enable the market;
10 right? So if you're the last guy in that line, you're
11 probably not going to get fuel, or if you do, you're going
12 to get not a full tank, and you'll probably take about 40
13 minutes to an hour.

14 And so if you go to the next slide, we have since
15 gone to a liquid hydrogen delivery, four fueling positions,
16 so simultaneous fueling of four vehicles, about five times
17 the capacity onsite. And this really enables the customer
18 to have a fueling experience, much like they do with
19 current fossil fuels. So it's a very quick fuel, and
20 they're able to fuel with other customers just at the next
21 dispenser.

22 If you go to the next slide?

23 What this has done is, as you can see in the top
24 right-hand corner, we can integrate our dispensers into our
25 own design. You can see the true zero wings, as it were.

1 But it also could be integrated into existing gasoline
2 station islands right next to the diesel and gasoline
3 fueling islands. And you can see those are San Diego,
4 Costa Mesa, and then Cupertino, as well as Fountain Valley.

5 Next slide.

6 So the liquid hydrogen has really enabled us to
7 not only fuel more light-duty vehicles more conveniently,
8 but also has laid the groundwork for heavy-duty fueling.
9 This is a photo of one of the Hyundai fuel cell trucks. I
10 know Dr. Happek is going to talk more about that. But to
11 enable the fueling of these vehicles, we developed the
12 fueling capability to do fast fills, 10-minute fills, 60
13 kilograms. And the intent is to really fuel these vehicles
14 at stations in the same amount of time they would fuel with
15 a diesel counterpart. So it enables fueling of about 100
16 to 200 trucks per day.

17 This is just an example of fueling these vehicles
18 at one of our light-duty stations, which takes about 40
19 minutes. And just to enable the demonstration, if you go
20 to the next slide, this is just showing two of the fuel
21 cell trucks being fueled at our Livermore facility. And
22 again, just to show that these aren't renderings, these are
23 actual fueling of trucks.

24 You can go to the next slide.

25 and so you can see the two trucks filling there.

1 Next slide.

2 So I do want to talk briefly about some of the
3 things that the California leadership has enabled, but also
4 to provide some guidance, perhaps, for your continued
5 leadership.

6 Three things, one is the realization that
7 hydrogen retail fueling is new; right? It's less than ten
8 years old. The supply chain is immature. A lot of the
9 equipment they receive is not really retail-ready and not
10 made for prime-time performance. And so it's a slow start.

11 We are actually the beneficiaries of a California
12 Energy Commission grant to bring most of that manufacturing
13 in-house, which we're doing now. And that will enable us
14 to manufacture most of our equipment in California at one
15 of our facilities, which will hopefully reduce the
16 reliability issues that are seen from some of the equipment
17 that we've received.

18 Secondly, the incentive structure for California
19 is currently really dependent on two structures. One is
20 the Clean Transportation Program, which Commissioner
21 Monahan leads, but also the Low Carbon Fuel Standard, LCFS
22 at ARB. Both of those programs are somewhat in limbo. On
23 top of that, with the financial environment here in
24 California, the banks collapsing, it's really frozen kind
25 of the incentives or the financial market and the ability

1 to do further financing. And so I really urge you to move
2 forward with some of those programs.

3 And then finally, the pathway to zero-emissions
4 transportation is really through two technologies, one is
5 fuel cells and one is battery-electric. And we really
6 think it's too soon to discount one versus the other, and
7 both of those should be enabled to have an equitable chance
8 at providing zero-emission miles.

9 Next slide.

10 And just to highlight that with an example, you
11 know, there's 16 million vehicles are sold every year in
12 California; right? ZEVs are only about 300,000. Fuel
13 cells are less than 3,000. Likewise, drayage trucks,
14 there's about 200,000 into and out of the ports every day.
15 There's only less than 200 zero-emission vehicles, and only
16 30 of those, the Hyundai trucks that I mentioned, are being
17 demonstrated this year.

18 If you go to the next slide?

19 If we go to 12 years from now, in 2035, all of
20 that has to go to zero emissions. So, you know, even if
21 it's only a third or less, it's still thousands or tens of
22 thousands of light-duty vehicles and thousands of trucks
23 that have to be zero-emission, likely fuel cells. And so
24 we are really urging that the infrastructure needs to be
25 available to fuel those zero-emission technologies.

1 And then finally, I'll just conclude with these
2 thoughts and words of encouragement.

3 So if you go to the next slide.

4 Steve Ellis, you may know, he was a longtime
5 Honda employee, he used to say, "It's not a sprint to get
6 to, you know, zero-emission transportation." The next
7 slide will say, "It's really a marathon." And then if you
8 get one more slide, we just encourage you to pace yourself,
9 keep your eyes on the prize. If you go one more slide, and
10 that's even in the face of what sometimes feels like
11 running through, you know, fiery brimstone, is to maintain
12 your dedication and your vision towards zero-emission
13 transportation because you have enabled the market.

14 With that, I'll just conclude, and thank you for
15 the time.

16 MR. ORTIZ: All right. Thank you very much,
17 Matt. Next up is going to be Salvador Llamas for
18 AC Transit.

19 MR. LLAMAS: Good afternoon, Commissioner. Let
20 me bring the mic a little closer here. Thank you very much
21 for the opportunity to provide an overview of AC Transit's
22 Zero Emission Bus Program. My name is Salvador Llamas.
23 I'm the Chief Operating Officer.

24 Next slide, please.

25 I'm very excited to announce that AC Transit has

1 been awarded the Outstanding Public Transportation System
2 by the American Public Transportation Association. And I
3 say this because it just speaks volumes of the type of
4 organization that we have and the employees that we have at
5 AC Transit, from the bus operator seat to the boardroom
6 dais chair. We are really excited to be innovators in the
7 industry.

8 Next slide, please.

9 A little bit about AC Transit. We have seven
10 publicly-elected board members. We serve an area of 364
11 square miles. We operate 128 lines; 18 of those lines are
12 dedicated to go across the bay. We have 202,000 employees,
13 seven facilities that support our operations. And
14 currently we have 637 buses; 58 of those are zero-emission
15 buses.

16 Next slide, please.

17 A little bit of our demographics. So just the
18 important note here is that we serve essential workers,
19 students, low-income, seniors, commuters, individuals with
20 disabilities, and anyone wishing to reduce their carbon
21 footprint. One of the things that we do during the school
22 period is we have 30,000 students that board our buses
23 every day, and we transport them to the schools to and
24 from. And we're very proud to be an essential service for
25 the state, and that was demonstrated during the pandemic.

1 Next slide, please.

2 So we have been running the marathon for a while.
3 So AC Transit has been a leader in operating zero-emission
4 technology since 2000 for over 20 -- more than 20 years.
5 We started with hydrogen fuel cell technology. We ran a
6 pilot for several years, learned a lot from that pilot,
7 helped to design the future buses. And we're happy to say
8 that we currently have operated more than five million
9 zero-emission miles transporting the public, and which
10 leads to eliminating over 12,800 metric tons of carbon
11 dioxide. Now we're operating both technologies, battery
12 and hydrogen, side by side.

13 Next slide.

14 So in order to educate our board and educate our
15 staff, we developed a zero-emission transit bus technology
16 analysis, also known as a 5X5 Study, because we have five
17 battery buses, five fuel cell buses from the same bus
18 manufacturer built on the same year, running side by side
19 in the same facility operated by the same drivers and the
20 same routes and operating environments, so a true apples-
21 to-apples comparison.

22 We partnered with Stanford University's Precourt
23 Institute of Energy to analyze the data to validate our
24 methodology and the results of our data. And when we
25 realized that this was such an exciting opportunity to

1 educate us, ourselves, we also added diesel buses and
2 diesel hybrid buses, and then what we call the legacy fuel
3 cell bus which is battery - or excuse me, a fuel cell-
4 dominant, which creates the power for the motor versus the
5 new one, which is a battery-dominant technology.

6 When we first launched the study, and we
7 delivered our rollout plan to the Air Resources Board, we
8 had predicted a 70 percent battery and 30 percent fuel cell
9 bus mix. A year after we launched the study, we learned
10 that there were some complications with each technology,
11 but we changed that in our transition plan to the FTA to 70
12 percent hydrogen and 30 percent battery.

13 Next slide, please.

14 So this is a hydrogen, heavy-duty hydrogen
15 fueling station. The other thing is we have two
16 generations of stations that are at our facility. The
17 lower right picture just shows basic components of a
18 hydrogen station, the liquid storage tank, the vaporizer
19 towers, and then we have buffer tubes. The old technology
20 cannot fuel the throughput of the buses that we need, so we
21 actually have transitioned to a cryogenic pumping.

22 On the upper left corner, you'll see the
23 cryogenic pumps. Now we can fuel 65 buses back to back in
24 a ten-hour window, which we need to service our vehicles
25 with 32 kilograms in six minutes per bus.

1 Next slide, please.

2 We approach the zero-emission bus technology, as
3 you mentioned, where the rubber meets the road. We have to
4 serve our customers. We have to provide essential service.
5 And we're operating both technologies side by side until we
6 see the technology continuing to mature. They both still
7 need some maturity not only in the bus performance, but
8 also in the availability of the energy, the reliability of
9 the energy, and the cost of the energy are both major
10 impacts.

11 And so here you see that we have hydrogen at two
12 facilities, and one we're operating hydrogen and battery.
13 We are seeking grant opportunities and funding to build a
14 third hydrogen fueling station at our Hayward facility, and
15 we're adding charging infrastructure at our Oakland
16 facility -- or Emeryville facility so we can have the same,
17 both technologies at one property.

18 Next slide, please.

19 And in order to maintain the equipment, whether
20 it's the vehicle or the infrastructure, we have to train
21 the workforce of the future today, and this is also to
22 preserve jobs and to advance the technology. So we're
23 working and we're partnering with technology experts to
24 utilize AR/VR technology to teach future generations how to
25 transition from internal combustion engine or conventional

1 mechanic into a zero emission bus mechanic. We're building
2 a Zero Emission Bus University. I'm happy to announce that
3 we received an FTA grant to do that. We're going to
4 modernize our facility, and we're going to develop what you
5 see here are some virtual AR and remote assist teaching
6 methods for every zero-emission bus technology that we
7 operate.

8 Next slide, please.

9 There's a lot of information to cover. I can't
10 cover it all today, but if you scan this QR code, our Zero
11 Emission Bus Transition Plan and our four volumes of our
12 study are on our website, plus other information that you
13 can take advantage.

14 And that concludes my presentation. Thank you.

15 MR. ORTIZ: All right. Thank you very much,
16 Salvador.

17 Next up, and he's already gone off, got to turn
18 on his camera, and it's going to be Ben Happek for Hyundai.
19 Thank you.

20 MR. HAPPEK: Yeah. Good afternoon, everybody.
21 Thank you to the Energy Commission and also to Commissioner
22 Patty Monahan for the opportunity to speak today. My name
23 is Benjamin Happek. I'm in charge of electrified
24 commercial vehicles at Hyundai, in particular, Hyundai
25 Translead here in San Diego. And today, I'd like to

1 provide you with an overview of Hyundai for the U.S.
2 market, in particular, for Class 8 fuel-cell electric
3 trucks.

4 Next slide, please.

5 So this presentation is less about Hyundai, but
6 more about the overall market potential and market
7 realities. So I think it doesn't make a lot of sense to
8 sugarcoat and to paint the brightest picture here. We
9 should clearly point out what the current issues are and
10 what we need to do in order to reach our common goal of
11 bringing those trucks and solutions to the market.

12 So first of all, North America is a top-two
13 global commercial vehicle market after China in terms of
14 volume. But I want to clearly point out that in terms of
15 revenue, the U.S. is the most important commercial vehicle
16 market by far, because the average transaction price of a
17 commercial vehicle in the U.S. is about two to three times
18 the amount of the one in China. So for Class 8, we talk
19 about 240,000 units per year that are being sold throughout
20 the United States.

21 Class 3, typically pickup trucks, is number two
22 after Class 8. But since many believe that, especially for
23 the heavy-duty fuel cell and hydrogen makes a lot of sense,
24 we focus on this, and Hyundai is also focusing on this
25 product to bring it first to the United States.

1 And what is also clear is that we see now a very
2 strong push, both national and subnational, that commercial
3 vehicles, Class 8 commercial vehicles, are moving towards
4 zero emission. And then there is this push and pull, that
5 I'd like to explain on the next slide, between incentive
6 and mandates, so the stick-and-carrot approach, that is
7 very strongly followed upon here in California.

8 That is also why Hyundai and other OEMs start
9 with truck deployments in California, because we have on
10 the one hand, we have strong incentives, such as the HVIP
11 Program from CARB. We have Energize. We have a lot of
12 support from the Energy Commission, even for projects that
13 we are doing right now. And on the other hand, we have
14 strong mandates that force fleet operators and OEMs to
15 bring these products to the market.

16 It all comes together with customers that have
17 very strong ESG goals and programs that we see as first
18 adopters in the market. And this is basically what is
19 nurturing this ecosystem here in California.

20 Next slide, please.

21 So if you look at a bottom-up analysis of units,
22 so what are we actually talking about? If we do a bottom-
23 up analysis and look at California and the other ZEV
24 states, you can see that in 2022, in California alone, the
25 Class 8 market was about 17,000 units. And this includes

1 diesel, CNG, a small amount of battery-electric trucks.
2 And so far, really no fuel-cell electric trucks, or when,
3 then only in very marginal numbers.

4 Due to the mandates that are now in place, and in
5 very particular, Advanced Clean Truck and Advanced Clean
6 Fleet, we will see about 868 units in California that will
7 be zero-emission from 2024. This goes up, all the way up
8 in California, up to 6,000 units by 2031. Combined market
9 with the other ZEV states and states that are most likely
10 becoming ZEV states eventually, we talk about an overall
11 market size by 2031 for zero-emission Class 8 heavy-duty
12 trucks of 30,000.

13 So that is the addressable market. And it's
14 important that we point that out, this kind of potential.

15 What is the split between hydrogen and battery-
16 electric? Nobody knows at this point. Nobody. There are
17 a lot of people who claim we have a crystal ball. But
18 frankly speaking, we are not making any definitive claim
19 here.

20 My personal belief is that if there is
21 infrastructure in place, and we all know that battery-
22 electric charging infrastructure is also a big challenge,
23 also on the utility side, if enough hydrogen is available
24 and enough hydrogen refueling stations is available, I am a
25 strong believer that a majority of Class 8 heavy-duty

1 trucks ten years down the road might be fuel-cell electric
2 versus battery-electric. But don't point that out ten
3 years later that I might have been wrong.

4 Next slide, please.

5 So if you look here at the right-hand slide, this
6 is a nationwide forecast. I talked about the ZEV states in
7 California before. Market data shows us that by about
8 2037, zero-emission vehicles will be more than half of the
9 market share of trucks being sold in the United States.

10 And this will be, most likely, much earlier in California,
11 given the incentives and also the mandates, of course.

12 Even most conservative modeling is showing that by 2047,
13 ZEV is overtaking diesel nationwide.

14 So due to, and this is what I told you earlier,
15 early customer feedback is showing us that there seems to
16 be a lack of feasibility in certain battery-electric
17 solutions, which suggests that there might be even a higher
18 demand in hydrogen to power fuel-cell electric trucks going
19 down in the future. Currently, we have about, right now,
20 70 fuel-cell electric trucks in custom operation with
21 almost 4 million -- more than 4 million miles driven.

22 Next slide, please.

23 So what are the benefits of fuel cell? And we
24 don't need to go, due to time constraints necessarily here,
25 into the absolute details, but we have higher payload,

1 longer driving range, shorter recharging times, and no
2 impact on the electric grid. These are all the four major
3 benefits of fuel-cell electric trucks.

4 Next slide, please.

5 But there are also challenges. And those
6 challenges are trucks are too expensive for most of the
7 customers right now. We talk about a 200 percent to 300
8 percent cost increase versus diesel. So we need subsidies
9 in order to get the - reach TCO parity on truck cost.

10 Clean hydrogen is very expensive. We talk about prices
11 right now at the pump between \$30.00, even \$36.00 on the
12 kilogram on light-duty side, which has been reported to me
13 yesterday. That has to come down to \$6.00, \$7.00, maybe
14 \$8.00, but certainly not \$30.00 in order to meet TCO for
15 our customers.

16 We have only very limited midstream buildout of
17 hydrogen pipelines, and absolutely minimal infrastructure.
18 And it's startup companies, such as First Element, who are
19 really pushing the boundaries here. And we have most of
20 the stations in California, as you know, thanks to their
21 efforts, and also thanks to the great support of the Energy
22 Commission so far.

23 Next slide, please.

24 So what are we talking about in terms of
25 infrastructure needs? We certainly need to scale up from

1 where we are right now on the light-duty side, where we
2 have a throughput of maybe 500 kilogram per day per
3 station. And we need to go to four tons per day with a
4 throughput of two and a half tons to serve a significant
5 amount of trucks per station.

6 For our NorCAL project that has been mentioned
7 before by Matt, by Dr. Miyasato, we talk about 60 trucks
8 that can be fueled at that particular site in Oakland.

9 Next slide, please.

10 So the overall thinking is that by introducing
11 more and more commercial vehicles, we can create a business
12 case for more stations that is then also catering passenger
13 cars.

14 As in comparison, out of Switzerland, where we
15 are already operating 50 trucks, we have a business case
16 for one refueling station if we deploy 15 trucks. This is
17 equivalent to 700 passenger cars. So here you can see what
18 kind of a lever commercial vehicles are for this market.

19 Next slide, please.

20 So here I am highlighting what we do in Korea
21 already. So Hyundai is showing that the technology is
22 actually mature and works. We have 355 trucks and buses on
23 the road in Korea right now, including 31,000 NEXO
24 passenger cars. And we have 153 HRS operating in South
25 Korea. The population of South Korea is roughly the same

1 as the one in California, about 40 to 50 million people.

2 Next slide, please.

3 This is another example of how we see the whole
4 economy working in a circular way. We have a project
5 running in Korea in Gyeongju where we collect biomass. We
6 collect food waste that we put into a biogas methane
7 reforming hydrogen production plant. And that hydrogen
8 goes back into our garbage trucks in order to collect the
9 food waste.

10 We believe that these kind of integrated
11 approaches are very helpful to bring this technology in
12 this market.

13 Next slide, and I apologize that I'm going so
14 fast through the slides, but this is actually -- I'm
15 running out of time here.

16 When it comes to customer and TCO, and I want to
17 reemphasize this, it has to make sense for the fleets. It
18 cannot be that we force trucks upon them that they can't
19 afford in terms of truck cost and fuel cost. This is why
20 Hyundai is approaching this whole ecosystem here in
21 Switzerland with the pay-per-use model. Where the customer
22 gets a truck, pays for the miles driven, and this includes
23 the truck, fuel, maintenance, and service in one combined
24 package, it takes away a lot of the anxiety, it takes away
25 fear of residual value, and also reassures the customer

1 that the technology actually works.

2 Next slide.

3 This is another example of the Switzerland
4 ecosystem. And since I'm running out of time, we just skip
5 over it right now.

6 To the last slide, please. This is the current
7 status of our -- no, one slide before.

8 This is the current status of what we do in
9 Oakland with First Element as the refueling station
10 partner. We have now ten trucks in revenue service as of
11 July 7. And the remaining 20 vehicles just arrived today
12 at the Port of San Francisco. And we have 30 trucks, which
13 will be the largest deployment of fuel-cell electric trucks
14 in North America, up and running from next month. And
15 thank you, also, to the Energy Commission and CARB for
16 making this happen.

17 So with that, I'd like to wrap up. Thank you
18 very much for listening.

19 MR. ORTIZ: Thank you very much, Ben. That was a
20 really great presentation.

21 Next up, we're going to go with Mike, who is
22 gracious enough to join us from the road. So again, Mike
23 Galvin is from Port of L.A.

24 MR. GALVIN: Go ahead, Mike. Thank you very
25 much. And I appreciate the opportunity and invitation to

1 present here in front of the California Energy Commission.

2 So my name is Mike Galvin. I'm from the Port of
3 Los Angeles. I work in real estate, but I've also been in
4 charge of the port's energy assets for the last 15 years,
5 and so that's where I find myself leading the port's
6 hydrogen efforts.

7 If you can go into the first slide?

8 So just a little bit of background before we get
9 into hydrogen. The port has very significant goals for
10 decarbonization, both on our terminals and off our
11 terminals. And those are all solidified through a Cleaner
12 Action Plan that is actually a joint Port of L.A./Port of
13 Long Beach document that's in its third iteration. And in
14 the 2017 version of that, the ports both agreed to move
15 forward to decarbonize both on-road terminal activity by
16 2030 and off-road trucking activity by 2035.

17 So that's really the driver here where we find
18 ourselves trying to explore every single pathway that's
19 available and the conundrum that I think we're all in and
20 trying to figure out how much of this is going to go
21 battery-electric and how much of it is going to go towards
22 hydrogen fuel cell.

23 But early input from tests that we've done over
24 the course of the last five-plus years show that hydrogen
25 has a huge benefit opportunity that battery-electric

1 doesn't have, especially in the heavy-duty areas of our
2 operations. And really, that goes to the long-haul trucks
3 and to the heavy-duty equipment, which are really four
4 pieces of equipment that we regularly operate on our
5 terminals, which include yard trucks which haul around
6 containers from the ship to stacks. They look very much
7 like tractors, but they are off-road tractors. Then we
8 have top loaders, which are basically large-scale picks
9 that pick up containers from the ground and take them up to
10 about five high. That is probably the heaviest duty piece
11 of equipment that we have. We have rubber-tired gantry
12 cranes, which take containers and manage stacks. And then
13 we have the need for mobile fueling solutions.

14 And so with all of that, those are very heavy-
15 duty pieces of equipment that really need to operate in
16 various modes throughout the day. And operators need to be
17 sure that the equipment that they're grabbing that day is
18 going to be able to do various duty cycles and going to be
19 able to last through an 18- to 20-hour day, because
20 typically that's what diesel does today.

21 Hydrogen provides that opportunity in early
22 equipment tests that we've done because it can last the
23 entire duration of the day that we have operational at the
24 ports, which includes about a four-hour dead time in the
25 middle of the night when everything needs to be refueled.

1 And so the opportunity to be able to refuel in that time
2 frame, very similar to diesel, is provided by hydrogen,
3 where it's not really with battery-electric. On top of
4 that, that electric equipment does not always evenly
5 operate throughout the day, depending on what type of duty
6 cycle it's placed on. So you have variable performance
7 there. So hydrogen provides that.

8 The same with the on-road trucks. We have
9 variable duty cycles with on-road trucks that are necessary
10 for our trucking community. A truck may be going back and
11 forth 10 miles a day to a local distribution center, or it
12 may be going 300 miles. And the operators want to be able
13 to grab any piece of equipment they need to grab at any
14 given time to do any job and try to pick and choose between
15 different technologies makes it very difficult for them.
16 So having that opportunity to have a technology that
17 actually duplicates diesel is very important to them as
18 well.

19 Our longshore labor is very supportive of
20 hydrogen as well because of the resiliency in that
21 technology and the ability to really replicate the existing
22 operation where they work the equipment very hard all day
23 and it rests for about four hours in the night and all gets
24 refueled in the location that it's at, typically, where a
25 mobile refueler will go around and refuel, just like diesel

1 does today.

2 So because of this comparability with current
3 operational capacities to diesel, hydrogen really makes a
4 lot of sense, not to mention the weight of the hydrogen
5 vehicles, especially the on-road trucks. We get a huge
6 diminution in opportunity to haul because of the 16,000-
7 pound necessity for the battery weight off-site of the
8 cargo that we're trying to haul at the same time. So there
9 are various issues there operationally that make hydrogen a
10 really good opportunity for the heavy-duty sector.

11 Next slide.

12 We have various opportunities that we have been
13 looking into over the course of the last three years for
14 demonstration projects. Our Shore-to-Store Project was
15 extremely valuable in really figuring out that hydrogen
16 fuel cell was a real, real good option for on-road trucks.
17 And that was ten on-road trucks that we tested. It ended
18 about six or seven months ago but we tested over the course
19 of 12 months.

20 It also included two built-out stations, smaller
21 stations, but heavy-duty stations built in the community of
22 Wilmington and Ontario to allow for trucks to go back and
23 forth in between the ports and the Inland Empire. And
24 those ten trucks went through their paces and acted very
25 similarly to diesel trucks. When there were issues

1 technologically or there were issues with operations, the
2 vehicles were down for a number of days maybe, but we're
3 back on the road very quickly. Not the same experience
4 we've had from various battery-electric on-road trucks and
5 other equipment where it does go down on it, but when it is
6 down, it's down for a significant amount of time.

7 Yard tractor demonstration at TraPac was very
8 successful. The current Phoenix Marine Services
9 demonstration of the top loader is actually the most
10 important that we've had because that is the heaviest duty
11 piece of equipment that we have. And they are working to
12 add another fuel cell to that and add an additional tank to
13 that, and being able to get it up to 22 hours of
14 operational capacity is extremely important.

15 And then we have YTI working on five pieces of
16 equipment coming out in the next couple of month, and a
17 HyZET Design project looking at a hydrogen tug.

18 Next slide.

19 The issue that we really have right now, as
20 others were speaking to, is the concern about consumer
21 confidence. We don't have enough equipment out there right
22 now to penetrate the market in a way that there is extreme
23 confidence that the equipment will work. So we need to
24 really work on getting more equipment out there.

25 Cost is a big factor there. We're looking at

1 working around that through retrofits, which is great
2 because it actually takes out a piece of diesel equipment
3 and retrofits it with a hydrogen fuel cell piece of
4 equipment at a much lower cost. And so we're looking at
5 cost comparability or even lower than diesel there. So we
6 see that as a huge opportunity going forward. But we need
7 more of that equipment out in the marketplace.

8 On top of that, the consumer confidence issue,
9 which was spoken about regarding fuel. The fuel is
10 variable, you know, between \$14.00 a kilogram to \$30.00 a
11 kilogram, so there's a lot of concern with that needing to
12 come down. And we really need to open up the marketplace,
13 get to a larger scale of fuel delivery, and hoping that we
14 can do that.

15 But we need government incentives to help us to
16 do that. The ports do not have the money to be able to
17 incentivize this ourselves. The ports ourselves are not
18 equipment owners. We do not buy fuel either. And so we're
19 really trying to facilitate this all for our tenants. So
20 we're going to do that through a variety of funding sources
21 from state and federal government.

22 Next slide.

23 So I think many are aware of the US DOE H2 Hubs
24 Grant process. I'm not going to go in or belabor this
25 much, but the ports are a foundational piece of the ARCHES

1 application.

2 Next slide.

3 We can go through this, too. I think everybody
4 probably knows what ARCHES is, but the state application
5 organization that is putting together the H2 Hub for the
6 state of California, and like I said, the Port of L.A. and
7 Long Beach have a very large project within that.

8 Next slide.

9 And that project includes, as a first deployment,
10 basically a suite of vehicles that would go out to ten
11 terminals, two yard tractors, one top handler, one rubber
12 tire gantry crane, and one fueling solutions. The total
13 overall grant application request is \$300 million. \$300
14 million would also be matched by the ports. Stage two
15 would have a scaled up opportunity there for us to get to
16 the point of commercialization so we can buy much more
17 equipment and really get that demand up, which will then
18 necessitate the sourcing of the hydrogen and hopefully
19 bring the hydrogen market online with diesel comparison as
20 far as an economic perspective.

21 And then on-road trucking deployments through our
22 Clean Truck Program will serve as a large portion of our
23 match as we are right now charging between \$10.00 and
24 \$20.00, depending on if you're moving a 20- or 40-foot
25 container through the port in a non-zero emissions vehicle.

1 So right now we have collected, I believe, this year about
2 \$90 million, but having difficulty actually distributing
3 that money to offset the large differential between diesel
4 equipment costs and hydrogen equipment costs.

5 So we're working on that to try to stack our
6 funds with a variety of other sources. We went to our
7 board last, yesterday actually, to be able to increase the
8 overall dollar amount available to potential consumers that
9 are buying new trucks and want to offset the cost delta
10 (phonetic) with diesel.

11 Next slide.

12 And this is just an overall description of what
13 our proposed grant looks like. We're really trying to de-
14 risk this in the beginning with a much, much lower overall
15 match from the ports, beginning with the first deployment,
16 \$100 million total, trying to buy, you know, in between 50
17 and 60 pieces of equipment, depending on where the pricing
18 is, and then having that match reverse in the second
19 deployment, where the ports are putting in much more money
20 there. But overall, \$600 million, we think this can really
21 get things going.

22 But the overall cost of decarbonization on
23 terminals and off terminals is a \$20 billion calculation
24 that we're trying to address. And so this is really a drop
25 in the bucket of that, but at least it's a start that gets

1 us moving in the right direction.

2 Next slide.

3 So waiting for a response from the DOE right now
4 and hoping that we get a positive one will really put us in
5 a great place to move forward.

6 And I think that's the end of the presentation.
7 Thank you.

8 MR. ORTIZ: Thank you very much. I really want
9 to thank all of our panelists for their presentations
10 today. I thought all of them were excellent, extremely
11 informative.

12 And at this point, I want to invite you all to
13 turn on your cameras if you haven't done so. And so we're
14 going to spend a little bit of time. We have some
15 discussion questions queued up.

16 So the one that I want to start with is actually
17 probably the first one. I'm going to it modify a little
18 bit though. I'm going to drop the "transit" off of that.
19 And just generally, how have increased hydrogen prices
20 impacted operations? And how do we get those down now more
21 immediately and then over the next decade?

22 And then, you know, kind of a combination with
23 another question. You know, this is kind of in response to
24 the DOE's moonshot of \$1.00 kilogram of hydrogen produced
25 by 2030.

1 So I will -- I see Salvador chomping at the bit,
2 so I will go ahead and let him start.

3 MR. LLAMAS: That is a very fantastic question
4 that I'd like to answer, just by firsthand experience.

5 So in 2013, we were paying \$5.93 per kilogram,
6 and we only operated 12 buses. Fast forward to 2023, we're
7 paying \$9.81 per kilogram and we're operating 30 buses, so
8 we're going backwards. And I think the promise that I've
9 heard since then was in five years, the price goes down.
10 In five years, the price goes down.

11 And the real issue that I see is that there has
12 not been enough investment to produce hydrogen here in
13 California at the volumes that we need to. And to really
14 have the partnership that we're building with these
15 discussions to get not only industry but to get government
16 and policymakers involved to start to realize, how do we
17 solve this challenge and this problem? Because what's
18 going to happen at EC Transit is if we don't drop that
19 price down to \$5.00 per kilogram delivered, we cannot buy
20 hydrogen bus anymore because we will not be able to operate
21 it.

22 And what that translates to me is I have a \$14
23 million a year budget for diesel fuel that fuels 640 buses.
24 If I transition to 70 percent hydrogen, which is 458 buses,
25 that turns into a \$46 million a year budget. It's just not

1 feasible and not sustainable.

2 COMMISSIONER MONAHAN: Can I just ask Salvador to
3 follow up? Sorry to interrupt.

4 I'm just curious because I know some production
5 happens on site. So I thought perhaps that you would have
6 more secure production, and is that the case?

7 MR. LLAMAS: Good question. Let me answer that.

8 So we take liquid delivery on site. And then we
9 vaporize it and pressure it into tubes for our bus. So we
10 need that liquid delivered hydrogen to be produced in
11 California in the mass quantities that will scale down the
12 price of the kilogram and make it green so we can take
13 advantage of the LCFS credits.

14 I think that that's a big ask but it's not an
15 impossible ask. And I'm actually very excited to be here
16 to hear that there's some thought around that now. I think
17 ARCHES is an excellent opportunity. We are partners in
18 ARCHES and we're excited to see that come to reality
19 because that's the type of investment that we need at the
20 state and federal levels to make that a reality.

21 Because the demand is coming a lot faster than we
22 know. And the challenge is when the demand is there,
23 because the push has been there, we have a mandate to
24 transition by 2040. We're on track to do it by 2035. But
25 if the fuel cost and availability is not there, we won't be

1 able to do it.

2 And also, same thing with the electricity,
3 reliability and availability is also a big challenge. So
4 we're facing it from both ends.

5 COMMISSIONER MONAHAN: I hear you. And I just
6 want to commend your leadership on this.

7 But you do produce a small amount on site, is
8 that -- did I get that right?

9 MR. LLAMAS: We were producing about, yes, a
10 small percent through an electrolyzer. We did a pilot
11 through an electrolyzer to produce, but it's only enough
12 for about three buses. We're just proofing the concept to
13 understand how that technology works.

14 COMMISSIONER MONAHAN: And when the supply
15 disruption happened a little bit just a couple of months
16 ago or a month ago, maybe, were you impacted or do you have
17 more secure contracts for that hydrogen?

18 MR. LLAMAS: Yes, great question. Thankfully,
19 because we are operating a small fleet right now, it was
20 actually we could absorb it with our spare ratio of buses
21 that we operate. And also, we were able to work with our
22 fuel supplier to alternate how we do our fuel delivery so
23 we can keep some buses on the road. But if 70 percent of
24 our fleet is hydrogen, that would not have worked.

25 And that's another reason why we're utilizing

1 both technologies. If there is a power outage, which
2 happens in California, we can operate hydrogen buses to
3 serve our customers. If there is, God forbid, an
4 earthquake and the fuel truck can't arrive, we can charge
5 our buses and serve our customers and be an emergency
6 responder to the state like we have been.

7 COMMISSIONER MONAHAN: That's great, thanks.
8 That really does highlight the importance of having dual
9 fuel options.

10 MR. MIYASATO: Thank you. Good to see you,
11 Commissioner McAllister and Gunda, who joined the dais. I
12 want to address the elephant in the room, as it were.

13 I know there's a lot of discussion about
14 increased consumer retail hydrogen prices. We have had to
15 increase the prices. And I think I highlighted in one of
16 my slides that one of the biggest challenges is the current
17 California incentive for station providers is to go LCFS
18 Program. And because that is now at historic lows, we were
19 faced with a couple -- there are a couple of other
20 confounding factors, including faulty equipment that we're
21 forced to dedicate almost - so over three-fourths of our
22 company is dedicated to operations and engineering, to
23 engineer and manufacture better equipment, and then
24 installing that equipment; right? So I'm just overhead.
25 So I could be one of the first to be let go if that came

1 down to it.

2 But we were faced with the choice of keeping the
3 stations and the network operational and keeping it to that
4 maintainability or, you know, raising prices. And we felt
5 like we needed to raise prices because, for the most part,
6 it's really the LCFS Program. But, you know, we understand
7 that ARB is going to address that next week, September
8 14th, in an informational hearing. They're going to go to
9 their board with a regulatory decision in Q1. But we're
10 kind of hanging on by our fingernails until, hopefully, it
11 sends a market signal that the LCFS credits will go back
12 up. But that is the reason that, unfortunately, drivers
13 are paying the impact for high hydrogen prices at the
14 moment.

15 MR. ORTIZ: Mike or Ben, I want to give you the
16 opportunity. Did either of you want to tackle this
17 question?

18 MR. GALVIN: For us, we don't have enough
19 equipment out there to make a difference, except that the
20 issue is that we've had delivery issues just for the very
21 few pieces of equipment that we have. So when the rest of
22 the industry out there hears, you know, we have 4,000
23 pieces of equipment total between the two ports and we have
24 one or two pieces of operating hydrogen equipment and they
25 can't get fuel, period, that becomes an issue.

1 So the supply issue definitely needs to be
2 resolved. And we're hoping that there are some projects
3 online very locally in Southern California that can provide
4 pipeline delivered hydrogen at what we believe is going to
5 be a reasonable price. And so we hope we can get to that
6 place, but right now, it's a very big consumer confidence
7 concern amongst our container terminal tenants that are
8 trying to figure out how to get there.

9 MR. HAPPEK: Maybe just as a final comment here,
10 so what we have seen in the past, and I think we had
11 colleagues also from SoCalGas on the call earlier, in the
12 past there have been efforts being made to bring CNG, maybe
13 even LNG, to truck fleets. When they bought those trucks,
14 and the CNG price went up, then what they would do is
15 basically get rid of the CNG assets and go back to diesel
16 and, basically, fluctuating. And that is what mustn't
17 happen for commercial for hydrogen. So we must make -- we
18 must be sure that we have a stable, over the year, stable
19 hydrogen price.

20 And by the way, this hydrogen price hike is not
21 just exclusive to California. We had the same problems in
22 our operation in Switzerland, where we had the Ukraine
23 invasion by Russia. We had France shutting down power
24 plants. And all of a sudden, the middle market price for
25 hydrogen increased tenfold overnight. And suddenly, the

1 hydrogen price went up like crazy.

2 So this is something I think the U.S., due to its
3 size and resources, can mitigate, but what we definitely
4 need is more hydrogen on the market. And hydrogen has to
5 become a commodity and not a molecule that is controlled by
6 very few players, as it is right now. And it has to become
7 ubiquitous, basically, in order to achieve that.

8 MR. ORTIZ: All right, thank you.

9 And then this might be a question more specific
10 to Ben, but are you aware -- you showed a slide showing,
11 you know, demand of or anticipated demand for Class 8
12 trucks. Are you aware of any other states that are
13 currently taking the steps to start, you know, the
14 refueling corridors for hydrogen?

15 MR. HAPPEK: Well, what do you mean by corridors?
16 So I'm seeing these questions also for the first time as
17 the other panelists right now. So corridor would maybe
18 mean interstate or within a state.

19 So we are talking, as Hyundai Motor Company, with
20 several states, or let's say participants in hydrogen hubs,
21 beyond ARCHES. So there are, as you are aware, efforts in
22 Texas, there are efforts in the Pacific Northwest, Great
23 Lakes. Most of the trucking in the U.S. actually happens
24 on the East Coast. So the corridor from New York,
25 basically, up to Chicago, this is where a lot of trucking

1 is happening in the United States, so this is certainly of
2 interest for us.

3 Can I say that other states are as far ahead as
4 California in terms of identifying hydrogen as
5 transportation fuel of the future? No, not yet. So that
6 will take more time. And I think hydrogen hubs will
7 certainly play a major role in that.

8 Last comment would be, maybe you have seen that
9 the state of Georgia issued an RFI recently, a couple of
10 weeks ago. And this is also coming from conversations that
11 we had with the Department of Transportation and our
12 partners there. Hyundai is building out a relatively big
13 zero-emission site called the Hyundai Motor Group Metaplant
14 in Savannah. And our ambition is to basically deploy our
15 fuel cell trucks in the state of Georgia, opening up also
16 corridors to Alabama, because Alabama also is a location
17 for us, Montgomery, with the legacy Hyundai Plant. We
18 build 400,000 cars there per year. So that's what we try
19 to connect. And thankfully, the state of Georgia and local
20 players are supportive in that.

21 MR. MIYASATO: Tomas, let me just add, from First
22 Element's perspective, we've been involved with a lot of
23 the different hydrogen hubs, the regional areas that, you
24 know, submitted proposals to the DOE. But I have to say,
25 Tyson and his efforts with ARCHES is probably the most

1 comprehensive; right? So based on California's history and
2 the incentive structure here, it's really difficult to
3 start corridors without the incentive structure to enable a
4 longstanding infrastructure married with vehicle
5 incentives.

6 So having all those policies in place are really
7 difficult to duplicate in other areas. It takes a long
8 time. But I think the hubs are going to kickstart those
9 other areas. But I have to say, California's way ahead in
10 terms of really enabling that transition. They want to do
11 science projects. California wants to do the
12 transformation of the transportation sector.

13 MR. ORTIZ: Okay. Thank you.

14 And then I guess we can probably just skip to the
15 last question. This has been, I think, a pretty important
16 topic of conversation today. And then, you know, in
17 discussions that we've had, you know, leading up to this
18 workshop, I've heard the description of leakage as just
19 dollars floating into the atmosphere.

20 So what are some strategies that are being
21 implemented now to kind of, I guess, avoid the dollars
22 floating up there? And, you know, what are some additional
23 strategies that we may need?

24 MR. LLAMAS: Tomas, if I may, I can just speak on
25 the perspective from the heavy-duty fueling station that we

1 have operated.

2 So we have two different designs. The original
3 design that we built in 2010 takes the liquid hydrogen and
4 compresses, vaporizes it, and compresses the gas using a
5 compressor. The challenge there was that we had boil off,
6 and that's the leakage, so that when the tank was over
7 pressurized, it just went up to the atmosphere. And
8 unfortunately, that was just something that we were told we
9 had to live with.

10 Thankfully, when the state invested in our
11 upgrade to the station, we worked with the manufacturer and
12 we designed it so that we can recapture that boil off. So
13 the new cryogenic pumping design runs the fuel through the
14 high pressure vaporizers. And the tank itself, when it
15 over pressurizes, it takes the gas and the hydrogen and it
16 cycles it back into the station through the vaporizer and
17 the high pressure tube, so we capture it all. It's a cycle
18 that just doesn't end.

19 So we were able to solve that challenge. And I
20 think that that's already been solved. It's just a matter
21 of how do we scale that to the larger deployment?

22 MR. MIYASATO: Yeah, and this is Matt from First
23 Element. I would agree. Like I think Melanie mentioned
24 that, you know, hydrogen is a precious commodity, so -- and
25 we pay for every kilogram that we receive and then

1 dispense. So we are being very careful in how we manage
2 that commodity or that valuable asset.

3 And just an example, I think Salvador mentioned
4 new processes and protocols are being developed because
5 heretofore, by the industrial gas companies, they didn't
6 view it as such. It was just kind of a, you know, cost of
7 doing business. So when they would transfer the liquid
8 hydrogen to our stations, there weren't a lot of protocols
9 in place to reduce that boil off or that leakage.

10 Now we have developed monitoring and protocols to
11 ensure that we get every last kilogram of hydrogen
12 delivered to our station so it can be put in a vehicle. So
13 because of this renewed interest and this new kind of
14 sector that's being developed, I think there's going to be
15 a lot less concern about, as Tomas mentioned, dollars going
16 into the air or being evaporated into the air.

17 MR. ORTIZ: Go ahead, Ben. I see you unmuted.

18 MR. HAPPEK: No, I'm thinking about making the
19 comment.

20 I'm aware of a facility, a legacy oil refinery
21 that is venting every day 90 tons into the atmosphere. I
22 mean, it has to be - it would have to be captured and
23 cleaned somehow. But I'm just thinking about making
24 available 90 tons of hydrogen per day to the mobility
25 market. We could achieve that. That will solve already a

1 lot of problems that we have. Then we wouldn't need to
2 talk about the last topic, I guess.

3 MR. ORTIZ: Okay. Well, I think we are at the
4 point where we can now turn over to the dais.

5 So, Commissioners, if you have any questions for
6 the panel, please go ahead.

7 COMMISSIONER MONAHAN: Well, I'm at an advantage
8 because my fellow Commissioners were not here for most of
9 the presentation. But I do want to give them a chance
10 before, otherwise I'll dive in. Okay.

11 Well, this is really interesting. And, you know,
12 I've been in this transportation space a long time, many,
13 many decades, and each time, though, I learn something, and
14 I learned a lot from this panel, so thank you all.

15 And I want to start, actually, with Benjamin
16 around -- I mean, I got to say Hyundai and Korea, I'm
17 fascinated. I'm really excited about the fact that the
18 International Electric Vehicle Symposium is going to be in
19 Korea next year because I've been so curious to see on the
20 ground like the most light-duty fuel cells deployed in the
21 world, and also a commitment to battery-electric vehicles
22 and fuel-cell electric vehicles, you know, really doubling
23 down. And so just want to appreciate the leadership of
24 Hyundai and Korea in terms of advancing the market.

25 But, you know, I heard a lot about your plans on

1 the heavy-duty space. We're making a lot of investments in
2 California in that space, as you've heard. One of the most
3 interesting things, from my perspective, from our Energized
4 Commercial Vehicles Program is so far about 30 percent of
5 the money has gone for medium- and heavy-duty fuels --
6 hydrogen infrastructure. And so we do have a lot of, I
7 think, companies that are really interested in the
8 technology. And as you've heard, ports in particular, I
9 think, see a need, long-haul trucks for sure. And so
10 that's a space we're doubling down on.

11 But on the light-duty side, from Hyundai's
12 perspective, what is your -- tell us more, or is that
13 somebody else at Hyundai?

14 MR. HAPPEK: That is indeed somebody else. I'm
15 the truck guy, but I'm still -- I can still tell you that
16 we are committed to NEXO and our light-duty program for
17 sure. And indeed, we are also developing a successor
18 vehicle to NEXO, so that has been announced also a couple
19 of months ago, so it doesn't stop with NEXO. We will
20 continue to develop also light-duty products in the
21 hydrogen space.

22 When it comes to deployment numbers and how many
23 in which time frame, that is indeed something that I'm not
24 100 percent aware of. I will need to ask my colleagues at
25 Hyundai Motor America who are in charge, but we are not

1 giving up on the light-duty side.

2 COMMISSIONER MONAHAN: And I know Vice Chair -

3 MR. HAPPEK: Even though there are big
4 challenges, there are big challenges for sure, and we
5 mentioned them today, but I believe come time, we can
6 overcome them one by one.

7 COMMISSIONER MONAHAN: Thank you.

8 I know the Vice Chair has a question, so I'm
9 going to turn it over to him.

10 VICE CHAIR GUNDA: Sorry I missed part of the
11 presentations. I will listen to them over the weekend or
12 early next week.

13 But just, you know, I think I want to pick up on
14 Salvador's kind of comments on specifically the dual fuel
15 requirements in your sector. I've heard that in the past
16 from, you know, SoCal, and then the other energy entities.
17 But could, you know, both the panels kind of comment on how
18 do you see the kind of the transition, whether it's your
19 sector services that you're planning for, you know, whether
20 it's the services, you know, you're planning for in terms
21 of energy, the resiliency component of future systems and,
22 you know, thoughts on how we plan for it?

23 MR. LLAMAS: Good question, Commissioner Gunda.
24 And so the way we approach this is we have some priorities
25 for our Zero Emissions Transmission Plan and I'll just

1 share those. The last two are really the most critical
2 ones. But one is we want to replace our equipment when
3 they're past a useful life so they can become more
4 efficient to operate and cleaner.

5 We also have developed a Clean Corridors Plan
6 that identifies 13 major corridors that are impacted by
7 climate. And we want to prioritize delivering the vehicles
8 there. The corridors each have their route demand. So the
9 demand on the vehicle is something that's guiding that
10 decision and what type of vehicle we utilize. We're also
11 going to purchase the zero-emission bus that can fulfill
12 the service demand. So we're not going to alter our
13 service. We're not going to alter our commitment to the
14 community based on the technology that's on the market.
15 We're going to buy whatever can fulfill that. And then in
16 the end, whatever is sustainable and feasible to operate,
17 so cost and reliability is a big factor.

18 So those are our guiding principles. So when
19 we're faced with that decision, we look at the technology.
20 And that's what really changed our approach from 70 percent
21 battery, 30 percent hydrogen, to 70 percent hydrogen, 30
22 percent battery, primarily because a hydrogen bus, I can
23 fuel it in six minutes and it can operate for 300 miles in
24 our service environment. A battery bus can take anywhere
25 from three to four hours to re-energize and it can operate

1 maybe 170 miles reliably before the warnings signal start
2 going out.

3 But there's a fit for both. So any route that I
4 have that's under 170 miles, we can run a battery bus. And
5 it does cost a lot less on the energy. And the energy is
6 more efficient, the electricity is, than the hydrogen.
7 Hydrogen is more expensive. So there are trade-offs that
8 we're hoping that are going to be resolved sooner or later.

9 And then, of course, as I mentioned earlier, the
10 resiliency, during my presentation, if there is an
11 emergency, we've been an emergency responder for the state.
12 During the pandemic, we provided essential trips for the
13 community and we kept operating. So we know it's about 65
14 percent of our service that's going to be required in a
15 major emergency.

16 If there's a power outage, I can fuel hydrogen
17 buses and respond to that, respond to the community. If
18 there is an earthquake and the roadways are blocked and the
19 liquid truck can't show up, then I can charge my buses and
20 run some service. So I can continue to function regardless
21 of what the impact may be.

22 MR. FREEDMAN: Maybe if I can add to that, thank
23 you, Commissioner, for bringing this up -- excuse me, Vice
24 Chair.

25 We have a few fuel-cell vehicles in our fleet.

1 We, too, are emergency responders and the resiliency is
2 critical for us. To do a few is not a theory for us. It's
3 something which we have to have because we have to be there
4 because, obviously, the events could impact gas grid. And
5 we need to be out there to be able to do it on time.

6 I will say that the reason that hydrogen takes
7 minutes to fuel and the reason it can go longer than that,
8 and that's kind of an important macro fact, it's not the
9 technological fluke that could reverse itself, it's the
10 fundamentals of physics. It's the energy density of
11 hydrogen, which is head and shoulders more dense per unit
12 of mass than any other way to store energy.

13 So there's a reason for those numbers that we are
14 quoting, you know, of course, and that's why we think that
15 there's an enormous importance of hydrogen mobility any
16 time it relates to the emergency response. As there is an
17 importance in anything related to resiliency, which was the
18 topic of the power generation panel, this is, I think, one
19 of the applications where hydrogen is remarkably important.

20 And we definitely are looking to make sure that
21 we are going to provide this resiliency. We have some
22 small-scale production on site just for our fleet because
23 that will allow us complete resiliency. Equal resiliency
24 can be accomplished in sectors which we didn't talk about
25 today. Think about communities far out where you can

1 combine renewables and hydrogen can create microgrids and
2 basically create high resilience to zero emissions.

3 So there are multiple applications, but a feature
4 is really important.

5 MR. HAPPEK: (Inaudible), I'd like to add a small
6 anecdote, if I may?

7 VICE CHAIR GUNDA: Yes, Ben, please go ahead. I
8 also wanted to see if Mike had a comment, so thank you.

9 MR. HAPPEK: A small anecdote in terms of
10 resiliency and power outages. I've been asked by a fleet
11 customer if our truck could be used in terms of power
12 outages to charge battery-electric trucks, which I had to
13 reject out of -- well, in theory, it's possible. Yeah, the
14 power takeoff could be done.

15 But I think this shows you also how far ahead
16 already fleets are in their thinking process and what it
17 actually means to charge a battery-electric truck and even
18 a whole fleet of them. And do they have to stop revenue
19 service if there's power outage? Do they go out of
20 business, maybe even? So these are very important
21 considerations.

22 MR. GALVIN: Yeah, if I could just add on the
23 resiliency issue and the ability of hydrogen to act very
24 similarly to how diesel does today, how gasoline does today
25 around the ports is extremely important. Because if we can

1 replicate current operations without changing the entirety
2 of our operations by dragging very heavy-duty electrical
3 load everywhere to be able to load up vehicles when they
4 need that energy, it makes the terminals operate as they do
5 today. It allows our longshore labor to operate as they do
6 today. It allows the fueling operations to act as they do
7 today.

8 And there's always going to be a place for
9 battery-electric within the medium- and light-duty areas of
10 the port because there is a lot of equipment that is that.
11 They can charge within a reasonable amount of time with
12 some upgrades to electricity. So we're planning for that
13 and bringing that electricity down. But in the case of
14 outages, which we've had many because we're at the end of
15 the line in San Pedro and in Long Beach, it's really
16 important to have a resilient fuel source to be able to
17 continue to move goods and services around.

18 And hydrogen provides that once we get to the
19 scale that we need across the board. So that's why we see
20 so much promise in it, especially in the heavy-duty section
21 where we need that equipment to run for 20 hours straight
22 at any variable duty that we need it to do.

23 VICE CHAIR GUNDA: Thank you.

24 COMMISSIONER MONAHAN: One more. I want to make
25 maybe just a comment. I'm not sure, there might be a

1 question that follows, but to Matt and First Element,
2 because First Element has really been a leader in
3 California. It stepped up, took a risk, it's been hard.
4 There's been a lot of learning. And I would say, you know,
5 trying to bring -- well, bringing actually the components
6 here to California to ease the supply chain constraints
7 that we face, I think, is going to be a real hopefully
8 gamechanger in terms of reliability.

9 And I do have a question. I'm wondering, Matt,
10 from your perspective, what else is needed to improve
11 reliability? And, you know, we're considering, you know,
12 operation and maintenance grants. We're trying to figure
13 out, just like with battery-electric vehicle charging where
14 we've seen a lot of reliability challenges, we're seeing
15 that in both technologies. So what would you suggest?

16 MR. MIYASATO: Well, let me just harken back to
17 my last slides, is I think some of it is stay the course.
18 You're doing the right things; right? It's been hard.
19 You're getting a lot of criticism. And I may say something
20 that's controversial. I think the light-duty market still
21 deserves a chance and equitable funding to ensure that, you
22 know, the biggest GHG emissions sector should get the
23 opportunity to reduce emissions with fuel cell vehicles.

24 But in that vein, we have been the recipient of
25 two California Energy Commission grants. One is to do in-

1 house manufacturing, which we're starting to do. So we
2 have actually the best-in-class reliability of all the
3 station providers. It's not 99 percent, it's not where it
4 needs to be, but we're, you know, 5 to 10 points higher
5 than the other station providers. And that's really
6 because, as you've mentioned, Commissioner Monahan, and as
7 I said at the beginning, we're purpose-built. There is no
8 plan B. This is all we do.

9 The second grant is to develop our own cryo pump.
10 And so as Salvador mentioned, right, liquid hydrogen offers
11 the capability for faster fueling and higher throughput.
12 And in order to get to faster fills at light-duty, and then
13 the fills that are required for heavy-duty, we're going to
14 need cryo pumping. And having that Energy Commission grant
15 will enable to do things that we can't do with the original
16 equipment manufacturing. We can't keep retrofitting or
17 repairing their equipment. So we're building our own,
18 thanks to the state's partnership.

19 So those things are all what you should continue
20 to do. If there are other opportunities to help augment
21 what is now lacking with the LCFS, I understand that Saria
22 (phonetic) just came out for the LCFS regulation, so
23 hopefully that will send the signal to the market and drive
24 the prices back up.

25 But in lieu of that, is there something else that

1 can be done? One thing that we were kind of lamenting
2 months ago before we received the Energy Commission grant
3 was, is there a way to pre-qualify equipment, so when we
4 get it, we know that it will work and work for hundreds and
5 two hundreds of hours, as opposed to 50 hours; right? And
6 maybe that's part of, you know, an R&D future grant where
7 you can do some testing, you know, or some other thing.

8 I haven't fully thought that out, but you've got
9 a lot of smart staff, the Commissioners are all pretty
10 aware of what the issues are. So maybe there's something
11 in that bucket that could be done and addressed.

12 COMMISSIONER MONAHAN: And, Commissioner Houck, I
13 don't want to put you on the spot, but I want to make sure
14 you have a chance to speak if you want to.

15 COMMISSIONER HOUCK: I am just listening for
16 right now, since I just popped back in, but I really
17 appreciate all of the information in the panels and did
18 have a chance to go through some of the PowerPoints, so
19 thank you.

20 VICE CHAIR GUNDA: Just one last question, maybe?

21 Ben, this is to you. I'm kind of just thinking
22 this through; right? So I think today we've kind of
23 broadly established and kind of statewide established, you
24 know, we need these clean molecules. We need to figure
25 out, you know, it's kind of a, you know, what's the least

1 risky steps we can do right now to not have standard
2 assets, but really give an opportunity for this fuel source
3 to flourish; right? So you need to kind of hit that
4 balance of, especially with every emerging technology, you
5 want to set the stage for opportunity with like investments
6 not resulting in stranded assets.

7 So how does -- you know, how are you seeing, you
8 know, the balance act? And I'll open it to everybody else.
9 You know, like what are those least risky, we can do this
10 right now and still kind of reasonably impact the growth of
11 the market without having to constantly worry about, you
12 know, how that would backfire?

13 MR. HAPPEK: Well, that's a very difficult
14 question to answer, I would say, but I'll try my best to do
15 so.

16 So while we are committed to our social
17 responsibility and we want to do our part for the
18 environment and so on and so forth, we have to always work
19 back from our customers and we have to understand what they
20 need and in what kind of way they can operate commercially
21 viable. That's what I'd like to say.

22 So from my perspective, and I don't want to be
23 redundant here, we said - we have many times during the
24 panel, the stability of pricing and a longer planning
25 horizon are super important.

1 When I was speaking in Sacramento for the first
2 time, four years ago or three years ago, we discussed that
3 the kilogram of hydrogen will cost sub-\$10.00 in a couple
4 of years, now here we are. And this is not to mean - this
5 is not meaning to bash First Element Fuel because we know
6 what the reasons are. The reasons are fluctuations in LCFS
7 credit value.

8 So what can we do to stabilize this kind of
9 situation? And what can we do to really, in a longer term,
10 convince customers that the hydrogen price will be indeed
11 in the range it needs to be for six, seven years of
12 operation of a commercial vehicle, for example? That's
13 super important to get to the TCO level that we need to be.

14 So while you have to focus, of course, also on
15 the deployment of HRS, and the network has to be expanded,
16 everybody's agreeing on that, I believe that we should also
17 focus more on a hydrogen production incentive that is
18 basically underwriting the cost for the molecules. I think
19 that's the most important thing, actually.

20 MR. FREEDMAN: Yuri Freedman, SoCalGas.

21 I'm trying not to repeat myself and apologize if
22 I will to some degree, but I would say that a successful
23 commodity market that I think we are trying to envision and
24 which will ultimately emerge if all the parts fall into
25 place has to have, I think, four elements, if I'm looking

1 at other markets which have been successful. Very quickly,
2 that's supply, demand, connectivity between the two. And
3 last but maybe most important is the market structure and
4 that Commissioner McAlester goes to the question that you
5 brought up earlier today, I believe.

6 And maybe I'll start from market structure
7 because to me, I think what we as a country have
8 established for at least 100 years now, and I'm talking
9 about Standard Oil precedent and then Natural Gas Act, is
10 that efficient market that ultimately drives down costs and
11 connects consumers and producers in an effective way. It
12 has to be liquid and deep. And has to be connected with
13 open access infrastructure, which is going to allow
14 molecules to move just like natural gas moves today from
15 ourselves to Texas to California.

16 Just like oil moves today, the same needs to
17 happen ultimately with hydrogen if it is to be a large-
18 scale commodity that will take a large element of the
19 energy mix. It will have to happen. And for that,
20 ultimately, it's a long-term vision, that's not going to
21 happen in five years, but if you envision that state, you
22 need to have physical infrastructure in place which needs
23 to be permittable and buildable. And I think that the
24 Commission has a tremendous role to play on both of these
25 using your experience and precedence, using the Renewable

1 Energy Transmission Initiative and other things.

2 But I also think that open access infrastructure
3 and the market design, non-discriminatory access is key.
4 That is not the market we have today. Hydrogen market
5 today is not that at all. There are reasons for that.
6 There are few producers selling to very few consumers.

7 We're envisioning this entirely differently.
8 We're envisioning multiple producers which will be incented
9 by federal and state funding, ultimately driving down costs
10 and selling to multiple consumers. That is how markets
11 will work. And there are real steps that I think the
12 Commission can take in that regard, not necessarily funding
13 because I don't think it's a funding question, market
14 ultimately has to be sustainable, but the market structure,
15 I'll repeat myself, is critical to getting it right and
16 that will get the private capital flowing.

17 COMMISSIONER MONAHAN: So we're bumping up on
18 time, but Matt, did you want to get a final word in?

19 MR. MIYASATO: Sure, if you're going to give me
20 that chance to get a final word in.

21 Let me just say in the long term, the vision of
22 the state is to do all these things that Dr. Freedman just
23 talked about, combining ARCHES production, matching it with
24 distribution and end use, and that's all fine and well. I
25 think that's the exact thing that the state should be

1 doing, setting these visionary goals.

2 In the near term, in the next five to ten years,
3 I think we are proof that you need to develop a supply
4 chain and to enable that market. And one of the ready-made
5 supply chains now with a product and infrastructure is the
6 light-duty market; right? So if you continue to enable
7 that, it helps us with our medium-duty and heavy-duty
8 because all those technologies are directly transferable.
9 And had it not been for the light-duty station development
10 that we did, we wouldn't be building the station in Oakland
11 with the CEC and ARB funds to deploy those 30 Hyundai fuel-
12 cell trucks.

13 So I think there's lots of things that the Energy
14 Commission could do today that really will enable five to
15 ten years and beyond.

16 COMMISSIONER MONAHAN: All right. Thank you so
17 much.

18 I think we are now moving to our final
19 presentation, with Peter Chen to talk about our R&D
20 investments.

21 MR. CHEN: Good afternoon, Commissioners. I'm
22 Peter Chen. I'm a Supervisor in our Research and
23 Development Division.

24 So there was a lot of discussion today on
25 knowledge and technology gaps. So I'm very excited to kind

1 of speak at the end of the workshop about CEC's own
2 hydrogen R&D project portfolio, which I think is intended
3 and well positioned to address these barriers, help bring
4 down the cost of hydrogen, and also produce data to inform
5 more beneficial and strategic deployment.

6 Next slide, please.

7 So starting with a high-level overview of our
8 division, we strategically invest funds to advance new and
9 emerging clean energy technologies, provide benefits to
10 Californians, and accelerate achievement of our clean
11 energy policy goals. In our division, we administer three
12 active programs with hydrogen-related investments,
13 including the Clean Hydrogen Program, Gas R&D Program, and
14 EPIC Program. And each one has their own unique guiding
15 principles and scope as it relates to hydrogen.

16 Next slide.

17 So in September of last year, the governor signed
18 AB 209, which created the Clean Hydrogen Program with \$100
19 million of general funds. The scope of the program
20 includes financial incentives for strategic in-state
21 projects to demonstrate and scale up clean hydrogen
22 production, processing, delivery, storage, and end use.
23 The overarching requirements of the program are set up to
24 make sure we're positively impacting emissions, water use
25 system technology readiness level, as well as costs, and

1 also benefiting local communities.

2 So far, we've released one solicitation on
3 federal cost share earlier this year, and we are planning
4 two other solicitations, one focused on large-scale
5 centralized hydrogen production, and a second one on on-
6 site distributed hydrogen production and use.

7 Next slide.

8 So with our federal cost share solicitation we
9 released in May, we sought to provide cost share for
10 eligible projects that applied for and hopefully will
11 receive an award under DOE's Bipartisan Infrastructure Law
12 funding opportunity on clean hydrogen electrolysis,
13 manufacturing, and recycling. We released the Letters of
14 Intent in July committing \$3.1 million of cost share for
15 three California-based projects. So if awarded by the DOE,
16 the projects will be able to leverage over \$20 million of
17 federal funds.

18 All three of these projects are intended to
19 improve efficiency, durability, and costs of some leading
20 electrolytic technologies, including PEM, liquid alkaline,
21 and solid oxide electrolysis cells.

22 Next slide.

23 So switching gears to a different program here.
24 So the Gas R&D Program funds research to support greater
25 gas system reliability, lower costs, and increased safety.

1 That benefits California citizens and supports the energy
2 policy. It has a \$24 million annual budget and it's funded
3 by an investor-owned utility surcharge on gas consumption.

4 Through this program we initiated hydrogen
5 research, primarily in response to our state's landmark
6 decarbonization policies around the 2018-2019 timeframe,
7 and from guidance from CPUC, which oversees the program.
8 Hydrogen is a potential gas -- potential pathway for gas
9 system decarbonization as a zero-carbon renewable
10 alternative to fossil gas. Gas utilities can also play a
11 role in delivering hydrogen through the existing gas
12 network.

13 But, you know, we see that research is needed to
14 better understand and mitigate potential impacts,
15 especially on pipeline facilities, generators, and end
16 uses. So with that we initiated a portfolio of projects to
17 conduct this research through this lens of long-term
18 decarbonization of the gas system.

19 Next slide.

20 So the next few slides will kind of be highlights
21 of projects we currently have with the Gas Program as they
22 relate to hydrogen. The first one here is on projects we
23 have to advance waste biomass to hydrogen production
24 pathways to lower the cost of low-carbon hydrogen
25 production.

1 These projects are all advancing pretty
2 innovative approaches. For example, electroactive
3 technologies, they are testing a microbial and
4 electrochemical process to efficiently convert organic food
5 waste to hydrogen. And another example here is a project
6 with UCLA to demonstrate direct conversion using
7 concentrate solar to produce hydrogen from biogas, and also
8 co-produce solid carbon as an additional value stream.

9 So the goal of all these projects is to
10 demonstrate viability and also generate data that can
11 inform future commercialization.

12 Next slide.

13 So as we heard from the last panel, heavy-duty
14 transportation is an important potential end use for
15 hydrogen in California. It's a significant source of
16 criteria and emissions. And, you know, the certain duty
17 cycles, for example, at the ports can be especially
18 challenging to electrify directly.

19 We also see the gas system can play a future role
20 in hydrogen conveyance for these end uses. So we have
21 active projects to demonstrate hydrogen fuel-cell
22 technology and some future work planned on innovative
23 hydrogen delivery and refueling solutions for heavy-duty
24 truck, rail, marine, and aviation applications that can
25 enable higher fuel rates and also minimize leakage and

1 issues like energy losses.

2 Next slide.

3 And so one of the core research topics in our gas
4 program, especially in recent years, has been on hydrogen
5 blending impacts. We have an active project with UCLA and
6 partners like Sandia National Lab, as well as the
7 utilities, to quantify risk of targeted hydrogen blending
8 in existing gas infrastructure. The project will conduct
9 laboratory experiments to assess the behavior of relevant
10 gas infrastructure materials and components under
11 applicable conditions.

12 And then the project team intends to build models
13 that can help predict component and system-level risk from
14 the point of hydrogen injection to the end use. The models
15 are also intended to be inclusive of high-pressure
16 transmission system components, where it's likely that
17 hydrogen will be injected for customers like power
18 generators and large industrial facilities.

19 The project will also use these models to perform
20 specific risk assessments of two targeted use cases. So
21 one is an asphalt production plant with GraniteRock in
22 Northern California, so that's representing an industrial
23 customer. And the second use case is with UC Irvine and
24 their gas-fired central plant, representing a power
25 generation use case.

1 The project will culminate in conducting a
2 technoeconomic analysis to assess scenarios for mitigating
3 risk, including retrofitting existing gas pipelines, new
4 purpose-built hydrogen pipelines, and also look at
5 alternatives like hydrogen conversion to carrier fuels.

6 Next slide.

7 So while the previous project was scoped
8 primarily to assess pipeline infrastructure impacts, this
9 other project with TTI will be identifying and resolving
10 research gaps concerning hydrogen end use in large
11 commercial and industrial equipment. The project has
12 already conducted some analysis to identify specific hard-
13 to-electrify equipment that could be candidates for
14 hydrogen substitution, so that includes industrial boilers,
15 process heating, furnaces, commercial HVAC, and commercial
16 cooking.

17 And the next steps for this project are to
18 conduct laboratory experiments and evaluate the technical
19 limitations of hydrogen fuel in current equipment, and also
20 look at emissions impacts.

21 Next slide.

22 So another end use we're investigating in terms
23 of hydrogen plant impacts is gas-fired power generation,
24 where hydrogen can be used to displace fossil gas to reduce
25 greenhouse gas emissions. However, challenges emerge,

1 especially as blends go beyond 30 percent by volume, all
2 the way up to 100 percent, including equipment limitations,
3 performance and efficiency impacts, and also emissions
4 mitigation, especially with NOx.

5 So we recently proposed three projects for award
6 to address these challenges, particularly targeting
7 systems, smaller than 5 megawatts, so with a focus on
8 distributed generation and combined heat and power. These
9 projects plan to take innovative approaches, such as
10 demonstrating the Argonne pyrocycle using in-cylinder
11 combustion optimization and a split-cycle technology to
12 optimize engines for high-hydrogen blends. So we hope to
13 bring these projects to a business meeting for vote later
14 this year.

15 Next slide.

16 So looking ahead on upcoming research for the gas
17 program, we have two approved initiatives represented on
18 this slide and one pending CPOC approval.

19 The first one here is our intention to fund a
20 study to characterize optimal co-location opportunities for
21 industries and clusters where they can share hydrogen
22 infrastructure and reduce the cost for producers and also
23 end users. This study will evaluate safety, risk,
24 benefits, and technology advancements needed for this
25 approach, as well as look at feasibility of repurposing

1 existing gas infrastructure.

2 The second study here, which is also approved, is
3 to assess the economic feasibility of underground geologic
4 hydrogen storage in California. This is absolutely a key
5 barrier in introducing hydrogen at larger scales and into
6 the gas transmission system.

7 And lastly, we have an initiative pending
8 approval from CPOC to advance gas leakage monitoring and
9 mitigation solutions, which will be inclusive of hydrogen
10 and hydrogen blends. So through this effort, we hope to
11 help acquire some real-world data on leakage, inform our
12 understanding of leakage rates from production to end use,
13 and also develop safeguards to minimize leaks.

14 Next slide.

15 And lastly, I'll speak a bit about our work in
16 the EPIC program as it relates to hydrogen. So EPIC
17 supports R&D of new emerging pre-commercial clean energy
18 innovations. It invests around \$130 million annually, and
19 it's funded by an investor-owned utility surcharge on
20 electricity consumption.

21 So EPIC is relatively new to funding hydrogen
22 research as hydrogen is generally, in general terms, new to
23 the electric sector as end use. Currently, our project
24 portfolio was primarily established in response to SB 1369,
25 which defined green and electrolytic hydrogen as a type of

1 energy storage to be targeted for increased use.

2 So EPIC's interest in hydrogen is really focused
3 on its connection to the grid as both load and supply.
4 We're very interested in understanding hydrogen's potential
5 role as a type of zero-carbon firm dispatchable resource
6 and long duration storage technology. And we're also very
7 interested in assessing renewable integration
8 opportunities, and also potential grid impacts, as well, of
9 hydrogen production from electrolysis.

10 Next slide.

11 So in terms of EPIC's active portfolio projects,
12 we're mainly testing these green electrolytic hydrogen
13 storage systems for various use cases, including renewable
14 integration, microgrids and resilience, peak shaving,
15 mobile backup power, and EV charging support.

16 So one example here is a project we have with
17 EPRI, which is developing mobile hydrogen fuel-cell backup
18 generators to use as a zero emission alternative to diesel.
19 This system will be designed to also support EV fast
20 charging and peak shaving during normal grid operations to
21 provide this additional value beyond just emergency backup.

22 Next slide.

23 So I think this is my last slide. And this is
24 our most recent activity in EPIC as it relates to hydrogen.
25 The EPIC Interim Investment Plan included an initiative to

1 assess hydrogen's potential role in electric sector
2 applications. So going forward, we are currently preparing
3 to kick off projects with RAND Corporation E3 to assess
4 hydrogen's potential role in the space.

5 And we're targeting kind of several key results
6 from these projects, one of which is to build on our
7 learnings from our active EPIC projects and evaluate
8 hydrogen for bulk grid use cases. We want to improve our
9 understanding of cross sector impacts and benefits of
10 potential hydrogen demand for electricity, for
11 transportation, and industrial end uses. We want to assess
12 the value proposition of storing hydrogen in geologic
13 formations to meet time bearing demand across sectors,
14 especially at very large scales. And we also want to
15 analyze least cost configurations of hydrogen production,
16 storage, transportation, and end use systems.

17 I think at the end of this project, another kind
18 of key funding that we want to get is actual
19 recommendations for future EPIC investments. So we have an
20 EPIC 4 initiative to do research on green hydrogen, and
21 we're hoping that this work will inform exactly what we
22 will target with that funding. And we're also currently in
23 our EPIC 5 investment planning process, still early stages,
24 but we're hoping that this research will also inform what
25 we propose in our EPIC 5 plan.

1 We're actively coordinating with CEC's SB 1075
2 team, and we definitely see an opportunity for this work,
3 as well as the other projects I presented on, to inform our
4 future hydrogen modeling work.

5 And with that, I'll conclude my presentation.
6 Happy to answer any questions.

7 COMMISSIONER MONAHAN: Peter, that was great, and
8 I just want to thank you for your leadership on all things
9 hydrogen. You're really thoughtful, and I think it's just
10 been a really interesting, comprehensive plan. And CEC, as
11 you showed, is investing in all, I mean, from the sort of
12 early stage companies evaluating how we can support to how
13 do we evaluate the impacts of using hydrogen for various
14 purposes, including most recently for our grid.

15 And also deployment; right? We're trying to look
16 strategically about different ways that we can fund
17 hydrogen production here in California to avoid some of the
18 challenges that we just talked about in the last panel
19 around access to hydrogen that's clean and that's locally
20 produced, and that's more consistent than what we've had in
21 the past.

22 So just appreciate your leadership and the team
23 at ERDD that are working on all sides of this equation.

24 And I don't think either of my fellow
25 Commissioners, I'm not sure, I'm going to look at

1 Commissioner Houck on the screen, see if she -- no,
2 she's -

3 COMMISSIONER HOUCK: Yeah, I just wanted to say
4 thanks. It's a lot of work, very impressive program, but I
5 don't have any specific questions.

6 COMMISSIONER MONAHAN: All right.

7 VICE CHAIR GUNDA: Peter, I was going to ask you
8 a very tough question, but I'm going to pass right now, so
9 follow up. Thank you.

10 MS. RAITT: All right, well, thank you so much,
11 Peter. It sounds like we're ready to move on. And so the
12 next thing is public comment.

13 So thank you again to all our presenters today.
14 I really appreciate everybody's time and expertise in being
15 here.

16 And so with public comment, we'll start with
17 folks in the room. We do ask that we limit comments to one
18 person per organization and three minutes per speaker. And
19 so I'll just ask, by show of hands, if anybody in the room
20 would like to make comments? Okay, great. You would like
21 to.

22 Do we have a microphone there? Shoot. Sorry
23 about that. Yeah, so here's our microphone. If you can
24 just come up and say your name and spell it for the record,
25 please, and let us know your affiliation, if any.

1 MS. HAMILTON: Okay. Hello, I'm Jennifer
2 Hamilton, H-A-M-I-L-T-O-N. I am the Deputy Director for
3 the California Hydrogen Business Council. I'd like to
4 thank you for your thoughtful remarks and presentations and
5 the opportunity to comment on this draft 2023 IEPR report
6 or IEPR.

7 The CHBC is the leading advocate for hydrogen in
8 the fuel-cell industry that advances and supports policies
9 to commercialize hydrogen in the energy and transportation
10 sectors, which will help California achieve its climate,
11 air quality, and decarbonization goals. The CHBC requests
12 alignment of the IEPR Scoping Plan implementation of SB
13 1075 and the Hydrogen Market Development Strategy, along
14 with federal policy to maximize the benefits of using
15 hydrogen for decarbonization and air quality.

16 As Commissioner Gunda stated, future workforce
17 development will be driven by the alignment of these
18 policies and the ability to leverage the available federal
19 funding to achieve California's ambitious climate
20 objectives.

21 Federal government just launched an Interagency
22 Hydrogen Task Force to take a whole-of-government approach
23 to executing the National Clean Hydrogen Strategy,
24 including development of a robust market supported by
25 domestic supply chains and sustainable jobs. And

1 California can align with this approach.

2 The restrictions proposed by the NRDC would
3 increase hydrogen costs by over 115 percent for no net
4 benefit while preventing the short- and long-term
5 decarbonization, air quality, economic and jobs benefits
6 that can simultaneously be achieved by hydrogen. We must
7 support the use of hydrogen to stabilize the grid when EV
8 charging and intermittent renewables challenge grid
9 operators who need hydrogen for maximum flexibility.

10 With respect to the policy and regulatory
11 approach for hydrogen production, the incentives the CHBC
12 would like to emphasize are, one, additionality should not
13 be required for jurisdictions like California with a
14 renewable portfolio standard. An additionality requirement
15 will subject hydrogen projects to multi-year
16 interconnection delays while achieving no grid emission
17 benefit that would help meet the state's mandates for clean
18 power resources.

19 Two, like those renewable portfolio standards,
20 hydrogen should be allowed to use annual time matching.
21 Numerous studies indicate the annual matching drives
22 operational efficiency and more desirable grid outcomes.

23 Three, requiring the renewable power generation
24 resource to match the location of the hydrogen production
25 asset will add additional costs to many projects and

1 inhibit placing renewable energy generation and hydrogen
2 production in the best locations.

3 Four, as with the RPS, biomass and biogenic
4 resources should be eligible hydrogen sources within
5 California and included within the IEPR.

6 And five, hydrogen must have parity with other
7 clean energy resources. The three pillars concept have not
8 been applied to other resources. These concepts risk the
9 outcomes of offshore electrolytic hydrogen projects to
10 other states and countries and jeopardize meeting
11 decarbonization targets, job creation and energy security.

12 Additionally, I would like to point out that the
13 CARB SB 1075 scenarios anticipate the use of fuel-cell
14 electric vehicles to reach over 100,000 in the next ten
15 years and then double by 2040. This is more consistent
16 with industry forecasts than the CEC numbers. To reach
17 these goals, we need to ensure that we create reasonable
18 approaches through policy vehicles without delaying this
19 market traction.

20 Thank you again for the opportunity to comment
21 and we do look forward to supporting a data- and fact-based
22 approach to the IEPR consistent with the SB 1075 report and
23 the hydrogen market development strategy.

24 Thank you.

25 MS. RAITT: Thank you.

1 So, yeah, again, if you could just state your
2 name and your affiliation, thanks.

3 MR. SKVARLA: Yeah, Mikhael Skvarla here on
4 behalf of the California Hydrogen Coalition, so
5 M-I-K-H-A-E-L S-K-V-A-R-L-A.

6 I want to thank the Commission staff for a good
7 day of hearing workshop. I wanted to address a couple of
8 comments kind of from the earlier panels specifically with
9 regard to the technoeconomic analysis that's necessary to
10 complete the work that you've been charged with under SB
11 1075 and what's necessary for the IEPR will result in the
12 need to look at more than a single factor like efficiency.
13 Our energy economy is far more complex than just that
14 single metric.

15 And while we've done good at shrinking kind of
16 energy consumption and the grid and individual uses such as
17 households and very big proponent of heat pumps and all
18 those things that you guys are doing than have done since
19 the beginning of the Energy Commission, we need to
20 understand that as we look to carbon neutrality by 2045
21 with an 85 percent direct emission target, we need to
22 consider other factors such as productivity, effectiveness
23 and efficacy of the products, capacity, scalability,
24 economic efficiency and so forth. This brings into light
25 time of day, capacity factor, and other things that are

1 necessary to fully decarbonize our economy 24/7 as is the
2 goal of the state, as is the goal of our renewable
3 portfolio standard.

4 And so to that end, you know, cost effectiveness
5 is an important thing. We would disagree with the earlier
6 panelists. We believe that hydrogen does bring an
7 incredibly cost-effective thing even today. The NREL data
8 provided to the last IEPR would show that per dollar
9 invested on a dollar basis adjusted for energy delivered,
10 hydrogen refueling stations are delivering three times more
11 energy than the DC Fast Charging network that we paid for.
12 That's just due to the fact that we're delivering more
13 clean molecules at a faster pace at a more centralized
14 location.

15 Additionally, as we get into kind of the three
16 pillars in those things, we need to avoid the arguments of
17 the strings (phonetic). California has a stringent carbon
18 policy, as well as an RPS that contemplates all -- a lot of
19 these issues already with regard to, you know, the
20 additionality. Resource shuffling, a big part of our RPS.
21 It kind of controls what we're talking about here and there
22 will be need for new additional growth. But at the same
23 time, the risk factor may not be the same in California and
24 the WECC that it is in like ERCOT and the other balancing
25 authorities that don't have the same carbon controls, the

1 same renewable portfolio standard.

2 And so to the end, that we look at kind of the
3 integrated policy that bringing hydrogen into our renewable
4 portfolio standard and into our full -- into the full fold
5 of the decarbonized economy with all of these other
6 factors, which is very complex and difficult modeling task,
7 we look forward to working with you further to ensure that
8 we get a great outcome from not only this report, but also
9 for all Californians and ratepayers.

10 Thank you.

11 MS. RAITT: Thank you.

12 Go ahead, Scott.

13 MR. TOMASHEFSKY: Good afternoon. Scott
14 Tomashefsky. I'm not going to spell last name for you,
15 Heather, if you want, Northern California Power Agency.
16 Just a couple of thoughts just to share. And hopefully I'm
17 not double-dipping. I know Randy was on the panel earlier.
18 So I won't talk about what Randy talked about.

19 COMMISSIONER MCALLISTER: Scott, if you don't
20 spell your name, then your comment doesn't count, you
21 realize?

22 MR. TOMASHEFSKY: It might take my entire three
23 minutes, though, so I'm sorry, but thank you. Always a
24 pleasure to be here and speak to you all.

25 I think as I've listened to this throughout the

1 day, and I know as much as we've been involved in the
2 hydrogen issue, one of the challenges that you all have to
3 deal with, and it's sort of a reflection of the 1075 work,
4 is trying to balance the policy objectives, the timing of
5 what we're trying to accomplish, and sort of the
6 operational realities of how to do that, which is no easy
7 task. And so having us all be part of the dialogue is
8 extremely important.

9 So a couple of points just to kind of think
10 through, just for consideration, is that really the focus
11 is on the end game here. And so it's really about how
12 hydrogen can feed to reducing carbon and getting to that
13 end game. And the challenge we get into is what happens
14 during a transition.

15 I think, Vice Chair Gunda, you have mentioned it
16 a couple of times during the course of the day, is how you
17 get there is the real challenge. And sometimes what will
18 happen is you'll find yourself looking as if you're not
19 going in a linear direction towards moving forward. And
20 there might be steps back that are perhaps considered
21 temporary setbacks, but they're not really setbacks,
22 they're sort of steps along the way.

23 So when you talk about things like blending
24 hydrogen, getting to a full use of hydrogen, the blending
25 component is almost as important as getting to the end

1 game, because you can't quite get there because the
2 technology is not there yet. So you sort of have this
3 issue where you're not doing a one-to-one reduction in
4 emissions today, but eventually you get there. And so what
5 we don't want to do is we don't want to lose sight of those
6 objectives. And so some things that we do may or may not
7 look like we're moving ahead, but yet they're very
8 important to deal with.

9 And so the question is how you optimize the
10 policy challenges that you want to accomplish and make sure
11 the capital investment is made in a way where industry does
12 want to make those investments, but they also understand
13 that there's a payoff at the end of all of this. And so
14 their payoff, of course, is capital investment, you make
15 profits or whatever that is. The state actually gains by
16 doing that.

17 So sort of the basic point on all of this is we
18 are at the early end of the market maturity curve. You can
19 almost look at it like the solar industry 20 years ago, it
20 really needed a lot of help. And so where we are right now
21 with the hydrogen industry as it relates to some of this
22 wider-scale deployment is that it's not only about R&D, but
23 it's also about the financial incentives to deal with the
24 fact that it's not cost competitive today, but that's the
25 long-term objective.

1 And so getting hydrogen into the system and
2 finding ways to maybe buy down some of those costs on the
3 near term are just as important as spending money on R&D to
4 do the work that actually gets you to a point where you
5 have the technological answers you want to get at the end.
6 So just wanted to share that.

7 And thank you again for this day. It's also
8 very, you know, very informative and really appreciate it.

9 MS. RAITT: Great. Thanks.

10 So it doesn't look like anybody else in the room
11 to make -- would like to make comments.

12 So we'll move on to the folks online. And we
13 have six hands raised. And if the others want to raise
14 their hand, I see more, yeah, just press the raise-hand
15 function, and more hands are coming up. And then if you're
16 on the phone and you wanted to raise your hand, press star
17 nine.

18 So with that, I will open the line for Julia
19 Levin.

20 Go ahead, Julia.

21 MS. LEVIN: Good afternoon. And thank you,
22 Commissioners and staff, for a really exciting and
23 informative workshop. I especially loved the two panels
24 this afternoon, the transportation and electricity panels,
25 which I think really underscored why we're going to need a

1 whole lot of renewable hydrogen in California to meet our
2 decarbonization goals. And I think if there were a
3 manufacturing and industrial panel, you would receive the
4 same message.

5 I have two recommendations, actually three
6 recommendations, though, that I think are really important.

7 The first is we really need the Energy Commission
8 and the Air Board to adopt a definition of renewable
9 hydrogen once and for all. There's a lot of uncertainty
10 about what's in and what's out. We're spending a lot of
11 time as an industry fighting over this in the legislature.
12 And I think that the expert agencies should make that
13 definition, should adopt that definition as part of the
14 IEPR and the SB 1075 report.

15 And I definitely think it should include
16 renewable organic waste resources. Tyson made that really
17 clear, Tyson Eckerle in his presentation from GO-Biz this
18 morning. The Air Board has made it really clear in
19 workshops, it's held on SB 1075. But it's not clear to
20 everyone that organic waste and biogas will be included.

21 And that brings me actually to my next
22 recommendation. I was really concerned this morning with
23 the CEC's modeling for SB 1075 because that modeling
24 focused 100 percent on electrolytic hydrogen and didn't
25 cover biogenic sources of hydrogen at all.

1 And I don't think that even complies with SB
2 1075, which specifically refers to short-lived climate
3 pollutants. It refers to forest management, organic waste
4 management, and a number of other terms, carbon-negative
5 emissions that are potential with hydrogen, all of those
6 are related to hydrogen from organic waste resources.

7 And I don't think that the legislature included
8 all that language about the Lawrence Livermore National Lab
9 report and bioenergy with carbon capture and sequestration
10 that's converted to hydrogen and all the other references
11 if the legislature didn't intend for the SB 1075 report to
12 include biogenic sources.

13 That would also be consistent with the CEC and
14 Department of Conservation's funding for projects that
15 would convert forest waste to hydrogen and projects in
16 development in the urban sector that will convert organic
17 waste diverted from landfills into hydrogen to help meet
18 the landfill diversion requirements of SB 1383.

19 So I think it's really critical that the agencies
20 adopt a definition and that the modeling follow that
21 definition, and it be consistent with SB 1075.

22 Last, on R&D, and here I just want to give a
23 shout out to all of the CEC's R&D staff. They are amazing,
24 and they've been amazing for a long time, and it makes a
25 difference globally what you do on R&D. So I have four

1 specific areas in my last few seconds.

2 On NOx emissions, one of our members is the
3 Placer County Air Pollution Control District. They are
4 really excited about new ceramic air filters to reduce NOx
5 emissions by 95 percent. We also need more R&D into steam
6 methane reformation and water gas shift using organic waste
7 resources and what the carbon capture and sequestration
8 potential is for different conversion technologies.

9 Thank you all so much, and have a good weekend.

10 MS. RAITT: Thank you.

11 Next is Tim Ballard [sic], if you could also
12 state your affiliation. Go ahead, Tim.

13 MR. SASSEEN: Hi, yes, this is Tim Sasseen,
14 S-A-S-S-E-E-N with Ballard Power Systems.

15 Thank you very much for -- sorry about that - for
16 the name mix up, but thank you very much for this meeting
17 today, encouraging to see the advancement of hydrogen in
18 the CEC's plans.

19 It was great to hear from Jennifer Hamilton from
20 the California Hydrogen Business Council. Ballard fully
21 endorses CHBC as being the voice of the hydrogen and fuel-
22 cell industry in California. We'd like to see more
23 participation of the CHBC be included in the CEC's
24 discussions of hydrogen.

25 Very much appreciate EDF's comments on monitoring

1 hydrogen leakage. We agree with that. We think it's very
2 important not only to avoid any detrimental impacts, but
3 also to get real data and avoid assumptions that may lead
4 to destructive policies. We find more and more that data
5 is in our favor, so we appreciate that.

6 But I would like to draw attention to the
7 National Resource Defense Council's three anchors to
8 hydrogen, the additionality requirements, as it endangers
9 their credibility in this discussion for decarbonization.
10 We know that California has committed to grid
11 decarbonization and to decarbonization in the
12 transportation sector. And the transportation sector will
13 take at least as much energy as the grid uses. We have
14 less than half of our grid renewable. That means we need
15 at least four times the renewable resources in the future
16 to fully decarbonize.

17 So what additionality talks about are today's
18 resources, less than 25 percent of what we need in the
19 future at a time where integrating those resources is going
20 to be its most difficult. We need to accept that we've
21 committed to decarbonization across the grid, across
22 transportation, and work in that direction. Everything
23 else beyond safety needs to be towards resilience and
24 reliability.

25 It is going to become more and more challenging

1 for grid and fleet operators to keep things going. As we
2 have more and more volatile sources and charging loads,
3 hydrogen is here to help. We're going to see that as
4 fleets increase dramatically, zero-emission fleets in
5 trucking, particularly drayage fleets, hydrogen is here to
6 help. We can help backstop the interconnection cues that
7 are building up on the grid.

8 And it's important that California realize this
9 and not trail behind as the federal government moves
10 towards moving beyond these three restrictions, which has
11 been shown recently by Harvard and University of Cologne
12 studies to increase grid emissions, in fact, while
13 increasing the cost of green hydrogen by up to 27 percent.

14 So we applaud the CEC's movement forward in
15 hydrogen in getting a more and more inclusive strategy.
16 And we ask that hydrogen be considered as a equal player in
17 the playing field as we've established it.

18 Thank you very much.

19 MS. RAITT: Great. Thank you.

20 Next is Steve Rosenblum, and just please state
21 your affiliation.

22 MR. ROSENBLUM: Yeah, my name is Steven
23 Rosenblum, R-O-S-E-N-B as in boy, -L as in Larry, -U as in
24 Ursula, -M as in Martin. I'm with the Climate Action
25 California, a non-governmental organization working to

1 avoid climate disaster.

2 And I was able to listen to most of today's
3 presentations and I was a little bit disappointed. I think
4 that the climate emergency requires that we not continue
5 business as usual, but we pursue revolutionary solutions as
6 quickly as possible.

7 I was particularly disappointed with the
8 discussions today of the electrical system, which started
9 with the presentation by Jennifer Campagna and panel number
10 three. I think the paradigm is incorrect. I think what
11 people are assuming is that we're going to continue with
12 gas turbines and just change the fuel to hydrogen, which
13 has been pointed out by several people today as being only
14 ten percent as efficient as directly using electricity.

15 So the paradigm I would like to suggest rather
16 would be to use batteries, either flow batteries or other
17 sorts of batteries as the primary method of replacing these
18 gas turbines for peaking power, and then using hydrogen
19 fuel cells as a secondary method, you know, which are
20 obviously somewhat less efficient. But I think that should
21 be a very high-level effort that should be pursued at least
22 at the R&D level.

23 With regard to hydrogen price, I think one way of
24 getting the price down would be to tax fossil fuels and use
25 the tax to subsidize hydrogen. That would automatically

1 increase the cost of fossil fuels and decrease the cost of
2 hydrogen. So we don't have to worry about subsidizing it.
3 We can actually kill two birds with one stone.

4 Then also, the question of using -- having light-
5 duty fueling stations being a catalyst for transportation
6 by heavy-duty and medium-duty trucks, I think is a red
7 herring. It really doesn't help because the needs of the
8 trucking industry do not require fueling stations every 50
9 miles or every 100 miles or many in cities. I think there
10 are only 15,000 fuel-cell light-duty vehicles in the state
11 and over a million EVs. There are 60,000 public chargers
12 and only 40 hydrogen stations. So I think that the ship
13 has sailed. There's no excuse for light-duty hydrogen
14 vehicles being subsidized by the state.

15 And finally, we should not spend any money on
16 mixing hydrogen into the methane supply for delivery to
17 homes and businesses. That only can reduce it by ten
18 percent, so it's not going to have much effect for the
19 climate.

20 MS. RAITT: Thank you.

21 Next is Jaimie Levin.

22 Go ahead, Jaimie.

23 MR. LEVIN: I had to unmute. Jamie Levin with
24 the Center for Transportation and the Environment. Not
25 related to the previous speaker with the same last name.

1 Our organization is a nonprofit here in
2 California. We're heavily engaged in deploying heavy-duty
3 transit, buses, fuel-cell buses and trucks, very
4 successfully, I might add. And I think it's very clear,
5 you heard compelling testimony about the performance of
6 these vehicles, these fuel-cell vehicles, reasons why
7 you're seeing kind of a sea change in the commitment of --
8 towards fuel cells and a shift in many cases from battery-
9 electric to fuel cells.

10 You heard in one of the testimonies all the
11 rationale and reasons why there are benefits to that
12 technology. No one questions that batteries are more
13 efficient than fuel cells, but it's operational efficiency
14 which has really made the compelling difference.

15 So the issue really comes down to hydrogen. And
16 the question was asked about how to drive down the cost of
17 hydrogen and what these challenges are. I want to make two
18 points that I'd like to emphasize.

19 You heard about the three pillar concept. Look,
20 we all have the aspiration of achieving 100 percent
21 renewable. That's where we have to be. But I would like
22 to emphasize, let's not make the perfect the enemy of the
23 good. We need to go through a transition period.

24 And I always like to emphasize, fuel cells are
25 agnostic as to where they get their hydrogen from, so we

1 can transition ultimately to those goals.

2 Secondly, there was discussion about leakage and
3 the atmospheric impacts of leaked hydrogen to the upper
4 atmosphere. And I would make the point, several did make
5 this point, that hydrogen presently is a very valuable fuel
6 source. And so station designs, which our organization has
7 been involved in many of these heavy-duty station
8 construction projects, they're driven by minimizing and
9 eliminating leakage in order to minimize or eliminate the
10 loss of fuel and the cost associated with that.

11 But also from a safety standpoint, your
12 organization requires virtually every station that is
13 funded with CEC money to be reviewed by the Hydrogen safety
14 Panel. All of our projects require that as well.

15 So those two issues, that and the global warming
16 issue, they need to be carefully evaluated. We need peer
17 review analysis. We need forums and discussions.

18 And that comes to my final point that I want to
19 emphasize. We have this marvelous opportunity with ARCHES.
20 The state has prepared probably one of the strongest if not
21 the strongest application with ARCHES to the federal
22 government. We have an excellent chance of receiving \$1.25
23 billion to leverage all the work that California has done.
24 Now is not the time to be complacent, to stay the course as
25 it is. Now is the time for the CEC, CARB, the state to

1 accelerate, but not by forgetting and not addressing these
2 concerns about the environmental impacts. We need to do
3 them together. But now is the time to put pedal to the
4 metal to advance hydrogen applications.

5 Thank you very much.

6 MS. RAITT: Thank you.

7 Next is Peter Tull. Apologies if I mispronounced
8 your name. Go ahead, Peter. You might need to unmute in
9 your end. Okay, well, maybe we'll come back to Peter.

10 So, and again, apologies for mispronouncing, Serj
11 Berelson, go ahead.

12 MR. BERELSON: Yeah, perfectly pronounced. Thank
13 you. That was a treat. Can you all hear me?

14 MS. RAITT: We can, thanks.

15 MR. BERELSON: Great. So, good afternoon. I'm
16 Serj Berelson from Mainspring Energy.

17 And first, I want to thank the Energy Commission
18 Commissioners and staff as well as the CPUC Commissioners
19 and speakers for putting on such a thorough and thoughtful
20 workshop on the future of hydrogen in California.

21 Clearly, based on this fulsome discussion,
22 hydrogen has a really important role to play in building a
23 clean energy future across a number of sectors, notably
24 power generation.

25 And in response to remarks from a few of today's

1 speakers, I wanted to highlight Mainspring's dispatchable
2 linear generator technology as a valuable form of clean
3 firm power that can utilize hydrogen to generate
4 electricity without combustion. And I emphasize that last
5 piece because we heard a few speakers and commenters today
6 mentioned the importance of reducing NOx levels. And
7 Mainspring's linear generator uses a low temperature
8 uniform reaction that maintains peak temperatures below the
9 levels at which NOx forms resulting in near zero NOx
10 emissions.

11 Moreover, linear generators are fuel flexible
12 without any hardware changes, meaning they're already being
13 deployed to run on fuels available today and can seamlessly
14 transition to hydrogen once it becomes available.

15 So, you know, Mainspring is very excited about
16 the potential for hydrogen to help decarbonize our grid
17 while maintaining reliability and fostering further
18 deployment of variable renewable resources. And we look
19 forward to continuing to collaborate across California's
20 agencies to build towards the grid of tomorrow.

21 So thanks again and wishing everyone a great
22 weekend.

23 MS. RAITT: Thank you.

24 Next is Christopher Murphy.

25 And Christopher, you may need to unmute on your

1 end. Thanks.

2 MR. PATEL: Hello, this is Pinakin Patel,
3 P-I-N-A-K-I-N.

4 MR. MURPHY: He's speaking for Christopher
5 Murphy.

6 MR. PATEL: -- P-A-T-E-L. Chris Murphy and I, we
7 are colleagues. And I'm really delighted to be seeing so
8 many CEC Commissioners. So hydrogen must be doing
9 something right. It is such a high-level interest. So I'd
10 like to thank you, everyone. And certainly, we are very
11 happy with this initiative, a lot of new things we've
12 learned.

13 We have a CEC project on producing hydrogen from
14 waste, or waste resources, and that project has proven that
15 it is very good for long-duration energy storage. And it
16 has also helped us solve -- provide a cross-cutting
17 opportunity, which I didn't see much today.

18 I'd like to point out that California is a
19 leader, but California is also suffering of issues like
20 forest fires. And California has funded, CEC has funded
21 project to convert woody biomass, agriculture biomass to
22 green chemicals, green fuels, and hydrogen.

23 But I would encourage CEC to look at transition
24 strategies that is cross-cutting. So if you're providing
25 solution for forestry wood, okay, which is, you know, PG&E

1 is a good example of that, that they cut the trees to keep
2 the grid safe, but then they collect those trees in a wood
3 yard. CEC has the opportunity to partner with PG&E and
4 some of the companies that CEC's technology has funded to
5 showcase that you can make hydrogen from wood waste, but
6 also provide grid support and all.

7 And in this scenario, you're creating
8 multipurpose solution and the cost of hydrogen will
9 obviously come down when you look at the value of
10 preventing forest fire or agriculture waste, which is also
11 same way.

12 So the gasifiers that CEC has funded, and I
13 really admire that, there are at least half a dozen
14 gasifiers, and my team has evaluated them. And they
15 provide opportunity to make green hydrogen at lower cost
16 because it's produced from waste, okay?

17 And same way, the plastic waste, you can look at
18 it and produce green hydrogen from it. But then some of
19 the funding projects, they say plastic waste does not
20 qualify. So there are some issues that needs to be
21 addressed at the Commission level, that if you're providing
22 solution that benefits cross-cutting in California, you
23 don't come under one definition, which is just hydrogen
24 alone and you must make it from water. Making hydrogen
25 from water is one portfolio solution, but there are half a

1 dozen other hydrogen carriers.

2 MS. RAITT: Thank you. We should - we need to
3 move on to the next commenter.

4 Next is Mark Nechodom. Sorry if I mispronounce
5 your name. And also please state your affiliation, if any.

6 MR. NECHODOM: Well, thank you. And, yes, very
7 correctly pronounced. Thank you.

8 I want to thank the Commissioners, staff, and all
9 the panelists. This has been actually a very exciting day
10 of workshopping things. We had some prepared comments, but
11 I'll just start from the top and move quickly here. I'm
12 Dr. Mark Nechodom. I'm actually the Senior Director for
13 Science and Technology at the Western States Petroleum
14 Association.

15 And rather than doing the pitch about what WSPA
16 is, I think it's good to kind of frame what we do as part
17 of what we are transitioning from, but needing to make sure
18 that we maintain the one running horse as we're jumping to
19 the next running horse, and that is that our members employ
20 about 360,000 people in California alone. We serve
21 California and the four Western States supplying 42 million
22 gallons of gasoline and 10 million gallons of diesel every
23 single day into the third largest fuel market in the world
24 behind only the U.S. and China. And we do that for a fleet
25 of about 35 million vehicles and at the same time investing

1 very heavily in low-carbon fuels and emission reduction
2 technologies.

3 So I just wanted to kind of put that into context
4 that we very much, we being the industry and my members,
5 very much want to be deeply integrated into this
6 conversation and not seem to be resisting or trying to
7 preserve something that is not appropriate. We all know
8 that we have to stop putting 32 gigatons of carbon into the
9 atmosphere every year that the Earth system can't process.
10 So we all agree with that. We are fully embedded in this.

11 I want to echo Dr. Yuri Freedman's point without
12 butchering it, I hope, and that is the unprecedented nature
13 of what we are trying to do, truly unprecedented. We are
14 trying to simultaneously grow supply and storage, grow
15 demand, grow transmission and distribution, stabilize
16 policies, stabilize markets, increase access to those
17 markets for providers and consumers, and keep it affordable
18 across the economy.

19 And in each of these elements, it requires
20 investment and ROI, reasonable ROI. It means a clear
21 business case for whatever we're building and operating,
22 and a stable policy environment like LCFS. I'm not saying
23 it's stable yet, but we're very hopeful that LCFS will be
24 stable.

25 And I also, just as a more productive way of

1 looking at this, I want to support Julia Levin's comment.
2 You have to have a common definition of renewable hydrogen.

3 And as the last speaker said, there are many
4 pathways to hydrogen that are not just electrolysis.
5 Fisher Chope (phonetic), for example, which requires a lot
6 more R&D for development of scaling, organics.

7 And then consider the gradual transition here.
8 So use what we have for hydrogen sourcing as we drive
9 greater demand and then transition to lower and lower
10 carbon over time.

11 So that's what I think we're all aiming for. And
12 I thank you for the opportunity to comment here.

13 MS. RAITT: Thank you.

14 Next is Jeremy. If you could give us your first
15 and last name and any affiliation? You may need to unmute
16 on your end.

17 MR. HAYWARD: Can you hear me?

18 MS. RAITT: Yes, thanks. Go ahead.

19 MR. HAYWARD: Okay. My name is Jeremy Hayward,
20 H-A-Y-W-A-R-D. My affiliation is with Redding Rancheria.
21 Our company is Redding Rancheria's H2EG. We have a project
22 in Red Bluff, California, that we're going to be producing
23 green hydrogen using woody biomass. And that's something
24 that I hadn't heard talked a whole lot about today, a few
25 commenters spoke about it, but not a whole lot of

1 conversation around it. So it seemed like the majority of
2 the conversation was around electrolysis and the processes
3 for that. And I feel like pyrolysis has kind of been
4 forgotten about or not really been as talked about. So I
5 wanted to bring that up.

6 Our process is carbon negative. We are producing
7 hydrogen using woody biomass, using pyrolysis system, and
8 we're doing so by creating our own energy, so we're not
9 hooking up to the grid. And I think that I heard some
10 comments earlier that were kind of negative about how much
11 energy it takes to produce hydrogen using the electrolysis
12 process, but that's not true for all hydrogen production.
13 So I just wanted to highlight that.

14 And that's all I have.

15 MS. RAITT: Okay. Thank you very much.

16 So I don't see any more hands up, but I'll just
17 provide another opportunity, if anyone wants to comment to
18 please raise your hand if you're on Zoom. And if you're on
19 Zoom via the phone, just press star nine, and that will let
20 us know that you'd like to make a comment.

21 And let's see, okay, they can -- for a second,
22 there was a hand up, but it's gone. Give it another
23 moment.

24 McKinley, would you like to make a comment? You
25 can go ahead and unmute on your end if you wanted to

1 comment.

2 MR. ADDY: Yeah. Can you hear me now?

3 MS. RAITT: Yes. Go ahead.

4 MR. ADDY: Thank you. My name is Addy,
5 M-C-K-I-N-L-E-Y, last name A-D-D-Y. And I'm a Vice
6 President of AdTra (phonetic).

7 First, thanks to the Commissioners for this very
8 informative IEPR workshop on hydrogen power and
9 transportation, and congratulations to staff.

10 AdTra makes it possible for qualified consumers
11 and businesses to own or deploy EVs or e-trucks at gasoline
12 and diesel truck prices without relying on government
13 incentives.

14 Myself, I was privileged to lead joint agency
15 predecessor work on the State Oil and Fuel Plan and a full
16 fuel cycle analysis that forms the basis for the Low Carbon
17 Fuel Standard. Both of those proceedings looked at medium
18 and heavy-duty vehicle hydrogen fuel cell scenarios. It
19 would be of some value to see how our projections then
20 compare to new projections.

21 CEC has been a leader in each H2 medium- and
22 heavy-duty fuel cell vehicles from the first AC Transit
23 fuel-cell bus and fueling stations to the BP LAX hydrogen
24 fueling station, fuel-cell bus system stations at Chula
25 Vista and SunLine Transit.

1 So AdTra is pleased to see a more focused effort
2 on hydrogen for power generation and transportation. My
3 comments focus on three areas.

4 First, on hydrogen fuel cycle analysis, AdTra
5 encourages the follow-on work on H2LCA for two reasons.
6 The possible indirect GHG emissions from hydrogen
7 highlighted by EDF due to leaks could impact hydrogen use.

8 Indirect GHG emissions from electricity due to
9 wildfires caused by grid ignition equipment need to be
10 understood. And the reason for this is that the carbon
11 intensity for transmitted electricity used for electrolysis
12 or other electricity-dependent hydrogen production can be
13 impacted and therefore expected hydrogen use and benefits
14 might not be realized. Without understanding this issue,
15 agencies risk overstating the possible benefits of
16 contemplated electrification strategies and therefore limit
17 the effectiveness of policy actions.

18 These two are important to properly characterize
19 and capture the hoped-for benefits from both
20 electrification and hydrogen use. We recommend the CEC
21 explore how business model innovation can impact technology
22 cost, uptake and penetration. This is particularly
23 important in hydrogen for transportation.

24 Several speakers talked about cost as a major
25 barrier. UC Berkeley has unique insights into this

1 question with two-factor analysis. This consideration is
2 important because I think, as Jennifer observed, existing
3 IRA incentives last for only ten years. Business model
4 innovation is therefore essential to harness the desired
5 role of hydrogen.

6 Finally, we encourage the consideration of land
7 use impacts for renewables.

8 Thank you.

9 MS. RAITT: Thank you.

10 I'll just give a moment for if any other hands
11 come up. And I'll just mention my appreciation for all the
12 dedicated folks who are still in the room and over 100
13 people online this late Friday afternoon. All right, I'm
14 not seeing any more hands up.

15 Raquel, could you just go to the next slide?

16 And since we do have such dedicated folks still
17 on the line, I will just make a plug for our upcoming
18 workshops. You can see there, October 25th, we're hoping
19 to be presenting our initial findings and recommendations.
20 And then November 15th and December 6th, stay tuned for our
21 modeling results.

22 And with that, I'll just - oh, and then one last
23 plug is, if you would like to make written comments, we
24 always welcome written comments, and their due September
25 22nd.

1 And so with that, I'll turn it over to
2 Commissioner Monahan.

3 COMMISSIONER MONAHAN: And I'll turn it over to
4 Commissioner McAllister, who has time sensitivity.

5 COMMISSIONER MCALLISTER: Yeah. I just want to
6 make some really brief wrap-up comments. And I really am
7 bummed I missed the electric panel but I will go back and
8 listen to it.

9 I guess I'm struck. I wanted to just sort of
10 revisit this kind of regulatory model question. And I know
11 this is on the docket now for -- or on the sort of task
12 list for the work ahead. And the PUC is, as Commissioner
13 Houck said, is doing some work in this regard. But this
14 sort of chicken-egg problem, you know, that's come up
15 multiple times today does -- I mean, the structure, the
16 market structure that emerges and the sort of channels of
17 off-takers that emerges does seem like it really would need
18 to influence the regulatory model like it's applied; right?

19 So if we think about, you know, what's the
20 equivalent of a core customer, are we really talking about
21 true retail customers like individual, you know, the sort
22 of light-duty, you know, they look more like core customers
23 or retail customers? Perhaps fleets maybe look different.
24 And certainly, large off-takers, industrial look different,
25 or like sort of non-core customers or sort of, you know,

1 the large off-takers or direct access; right?

2 So like trying to sort of figure out what the
3 equivalence between this world and the gas world that we
4 have today and the electric world, sort of what is that?
5 Is the investor-owned utility model the appropriate one or
6 is it more a subscription service and kind of privately
7 funded, you know, transmission, quote unquote?

8 So anyway, I hope we can kind of, you know, use
9 fresh eyes and first principles as we develop thoughts and
10 kind of unpack all these issues and kind of map what an
11 eventual kind of market structure, you know, how retail
12 focused and how sort of wholesale it looks, for example,
13 how that would determine or would sort of tilt towards one
14 regulatory model or another.

15 Anyway, sorry to talk sort of abstractly about
16 this, but it seems to matter, right, sort of how, you know,
17 what is this new infrastructure, how is it being developed,
18 and how is it being regulated? Because, you know, at the
19 end of the day, we're going to have, there's consumer
20 protection, there's sort of, you know, making sure that
21 markets function, and so it needs some regulatory
22 treatment. But are our models that we're using today
23 really the right ones and so how can we, you know, make
24 sure that we're going in a direction that really makes the
25 most sense for the long term?

1 And so a little bit of chicken and the egg. We
2 don't know, you know, what the big wedges of demand are
3 going to be yet, but that does seem really important for
4 where we land. So anyway, very interesting set of
5 questions and looking forward to seeing how it evolves
6 going forward.

7 Thanks for a great day. I really want to
8 congratulate the IEPR staff. Thanks to the whole team and
9 all the presenters throughout the day.

10 VICE CHAIR GUNDA: Thank you, all. I just wanted
11 to provide quick closing comments.

12 Heather, is it closing or do we go to the third
13 session after this?

14 COMMISSIONER MONAHAN: Yeah, there's an evening
15 session. It's not over yet.

16 VICE CHAIR GUNDA: For those of us who work in
17 energy, I think this is the best part of our lives.

18 So I just wanted to say thank you to the staff,
19 you know, the IEPR team specifically, and every -- all the
20 panelists for a really productive discussion.

21 And I just wanted to kind of elevate the
22 California spirit; right? I mean, I think we all, you
23 know, we have a tremendous history of innovation, working
24 together hard and solving big issues. And I think this is
25 the next big one; right? I mean, how do we transition a

1 system from where we are to a clean, reliable, and safe
2 system that's affordable and equitable to all Californians?
3 And I think the task is big, and that's when we all thrive
4 together.

5 So I'm just, you know, grateful for the
6 participation, for the public who stuck with us. You know,
7 300 people stuck with us for a long time today. Just, you
8 know, the incredible spirit we have in California to solve
9 big problems. So thank you all. Looking forward to
10 further conversations.

11 COMMISSIONER MONAHAN: I also want to thank
12 everybody who has stuck it out and participated throughout
13 the day, and Yuri, you've been ready to participate, and
14 just all the folks that have commented and come with
15 passion and vision. And I think it's clear that we all, as
16 Vice Chair Gunda said, we're all working hard to develop a
17 clean, affordable, reliable energy system. And I think all
18 the presenters, even with the divergence of opinions, are
19 all coming with that at heart.

20 And as I think a number of panelists said, we
21 don't have all the answers. And we are learning, and we
22 are, you know, investing in what we think are going to be
23 the solutions of the future. And we need to. We need a
24 diversity of fuels. We need a diversity of strategies.

25 I know, you know, Vice Chair Gunda is up nights,

1 late nights, weekends, really worried about keeping the
2 lights on. And we've made some hard decisions about
3 keeping once-through-cooling power plants that really
4 should be shut down open for the sake of reliability. And
5 those are hard decisions. We don't want to make those
6 decisions, and we are making those decisions. And so, you
7 know, investing in the future solutions that are really
8 going to deliver truly clean, reliable, affordable energy
9 for California, that's what we want.

10 And so this discussion today, you know, again, I
11 keep quoting the Vice Chair. I don't know why, because he
12 can really rub me wrong sometimes, is that this is a forum
13 for ideation. And we, you know, we want diverse opinions.
14 We need those diverse opinions. We can't shut down diverse
15 opinions. We have to listen. We have to welcome and think
16 about it and then come out with what we think as a state is
17 the best solution moving forward.

18 So thanks, everybody. I hope everybody has a -
19 no, you can't. Yeah, go ahead.

20 VICE CHAIR GUNDA: I asked her if I could have
21 the last word, but, you know.

22 No, I just wanted to, for the record, just ask
23 our team to look at the pyrolysis kind of pathway for
24 hydrogen production. I think it's an important thing.

25 COMMISSIONER MONAHAN: Yeah, actually, that's a

1 good point. Actually, again, we have funded at the Energy
2 Commission a number of projects in that space, as Peter was
3 talking about. So we definitely don't want to close off
4 that pathway, and it is a lower electricity draw.

5 So, well, but just thanks, everybody. I hope
6 everybody has a lovely weekend. We are definitely ending
7 the meeting now. There's not going to be an evening
8 session.

9 (The workshop concluded at 4:54 p.m.)

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 10th day of October, 2023.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.

October 10, 2023

MARTHA L. NELSON, CERT**367