

DOCKETED

Docket Number:	23-IEPR-03
Project Title:	Electricity and Gas Demand Forecast
TN #:	252622
Document Title:	81523 Transcript - IEPR Commissioner Workshop on Inputs and Assumptions
Description:	Transcript for 08152023 - IEPR Commissioner Workshop on Inputs and Assumptions
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/18/2023 11:38:44 AM
Docketed Date:	10/18/2023

STATE OF CALIFORNIA

CALIFORNIA ENERGY COMMISSION

In the matter of,)	Docket No. 23-IEPR-03
)	
2023 Integrated Energy)	
Policy Report)	re: Inputs and
_____)	Assumptions

IEPR Commissioner Workshop on Inputs and Assumptions

IN-PERSON AND REMOVE VIA ZOOM
 Warren-Alquist State Energy Building
 1516 Ninth Street
 Art Rosenfeld Hearing Room
 Sacramento, California 95614

TUESDAY, AUGUST 15, 2023

1:00 P.M.

Reported By:
Martha Nelson

APPEARANCES

Commissioners

Patricia Monahan, 2023 IEPR Lead Commissioner
Siva Gunda, Vice Chair
Andrew McAllister

Presenters

Heidi Javanbakht, Demand Analysis Branch, CEC
Nicholas Fugate, Demand Analysis Branch, CEC
Richard Jensen, Supply Analysis Branch, Planning and
Modeling Unit, CEC
Lynn Marshall, Energy Assessment Division, CEC

CEC Staff

Stephanie Bailey

Public Comment

Tim McRae, Silicon Valley Leadership Group
Dilip De
Claire Broome, 350 Bay Area
Mark Roest, Sustainable Energy, Inc.

INDEX

	Page
1. Introduction	4
2. Opening Remarks	4
Commissioner Patty Monahan	7
Vice Chair Siva Gunda	4
Commissioner Andres McAllister	7
3. Energy Demand Forecast Overview and Updates, Heidi Javanbakht, Demand Analysis Branch, CEC	9
4. 2023 IEPR Forecast Inputs and Assumptions, Nick Fugate, CEC	27
Remarks/Questions from the dais	37
Q&A	38
5. Production Cost Modeling, Richard Jensen, CEC	40
Q&A	65
6. Retail Electricity Rate Assumptions	73
Lynn Marshall, CEC	
Q&A	97
7. Public Comments	97
8. Closing Remarks	
9. Adjourn	109

Reporter's Certificate

Transcriber's Certificate

1

P R O C E E D I N G S

1
2 August 15, 2023 1:06 P.M.

3 MS. BAILEY: All right, good afternoon.
4 Welcome to today's Commissioner Workshop on inputs and
5 assumptions. I'm Stephanie Bailey with the Integrated
6 Energy Policy Report Team, or IEPR for short, here at
7 the CEC. And this workshop is being held as part of the
8 CEC's proceeding on the 2023 IEPR.

9 Today we're doing a hybrid workshop using Zoom
10 while also meeting in person. So, for those in the room
11 today, videos of the presenters and Commissioners on the
12 dais are being broadcast over Zoom, and everything
13 displayed over Zoom is also being shown on screen in the
14 room. We're using the in-room microphones for sound
15 also. This workshop is being recorded and recording
16 will be linked to the CEC website shortly after the
17 workshop, and a written transcript will be available in
18 about a month.

19 To follow along today, the schedule and slide
20 decks have been docketed and posted on the CEC's IEPR
21 webpage. So, for those in the room, we have signs with
22 a QR code. You can scan it using your smartphone and it
23 will take you to the CEC webpage with workshop
24 materials. Hard copies of the meeting schedule should
25 also be available for those in-person attendees.

1 So, attendees can provide comments on the
2 material being discussed today during the public comment
3 period at the end of the day. Please note that while we
4 look forward to hearing public comments, we will not be
5 responding to questions during the public comment
6 period, and those comments will be limited to three
7 minutes or less. For those in the room who'd like to
8 make a public comment, you can raise your hand at the
9 appropriate time and staff will direct you to the
10 correct spot. For those that are participating
11 remotely, you can either use the raise-hand function in
12 Zoom, which looks like a high five or star-nine on your
13 phone during the public comment period to let us know
14 that you'd like to comment. Written comments are also
15 welcome and instructions for providing those are in the
16 workshop Notice, and those are due by 5:00 PM on
17 September 1st.

18 So, with that, I will turn it over to
19 Commissioner Patty Monahan, the lead for this year's
20 IEPR, to say a few words about today's workshop.
21 Thanks.

22 VICE CHAIR GUNDA: Thank you Stephanie for
23 walking us through the logistics. Commissioner Monahan
24 had to step out just for a minute, she'll be back. This
25 is Commissioner Gunda. I'm going to start off with the

1 opening comments section. So just want to say welcome
2 to everybody who is joining the workshop. We have over
3 a hundred joined already, and staff in the room, and
4 colleagues in the room here. Just, you know, it goes
5 without saying, you know the forecast is the
6 foundational basis for the energy planning in the state.

7 We just wrapped up a workshop this morning on
8 the Distributed Energy Backup Assets Program, which is
9 really looking at the reliability, but it all starts
10 with the forecasting. I want to take this opportunity
11 to just say thanks to the staff who have been making a
12 number of different revisions to accommodate the
13 changing conditions of the grid and the planning needs
14 of the state; especially looking at more and more
15 penetration of behind the meter solar, behind the meter
16 storage, the electrification impacts, and the
17 granularity that's required to do good resource
18 planning.

19 So, most of the attendee understand, so the
20 forecasting goes to PUC to, you know, to be the basis
21 for the resource planning and the resource adequacy
22 areas of the state's planning. And once we have that,
23 you know, as we move towards this climate change impacts
24 and such, we are also looking at beyond resource
25 adequacy and IRP planning, which is what we're calling

1 the reliability planning, and that's something that
2 we're tackling separately. But for today we'll be
3 talking about the demand forecast, all the adjustments
4 that are being made, and really look forward to hearing
5 the progress and comments.

6 With that, I will pass it on to the lead
7 Commissioner Monahan who is here.

8 COMMISSIONER MONAHAN: I need some basic
9 training in being in a meeting. Thank you, Commissioner
10 McAllister. So just to build on what Vice Chair Gunda
11 said, at least the last few minutes, few seconds that I
12 was able to hear, you know this year's IEPR is really
13 focused on speeding the interconnection and deployment
14 of Clean Energy Resources on the grid. And the demand
15 forecast is critical to kind of setting the procurement
16 goals of the utilities, and to really laying out how
17 much energy we're going to need in order to meet our
18 goals, to help with implementation of regulations that
19 the Air Resources Board is developing, and making sure
20 that we have the right inputs into the demand forecast
21 is really critical to this whole process. So that's
22 what we're going to be talking about today and I'll just
23 pass it over to Commissioner McAllister.

24 COMMISSIONER MCALLISTER: Well, first what
25 they said. The forecast, you know, is just bread and

1 butter for the Energy Commission, but I think, you know,
2 the fact that we sort of do this, you know, sort of
3 wash, rinse, repeat, it seems like sometimes every
4 cycle, the forecast is really living, and it's different
5 every time, and it's no more probably so than this
6 moment that we're living.

7 And in particular just really excited, you
8 know, the various components of the demand forecast, all
9 of them have their, you know, details and where our
10 staff is so capable on the analytical side of unpacking
11 all different elements, both on the positive load side
12 and on the negative with efficiency and demand response
13 load shaping. Lots of really interesting components
14 that are really coming to the fore this year as we
15 figure out how to enhance reliability as we electrify,
16 and as we try in earnest to build out new renewable
17 supply resources.

18 So, rates, we'll talk about that. Looking
19 forward to Lynn's presentation. And then you know
20 really, I think we're-- we have the 7,000-megawatt load
21 shift goal, which I think this forecast will really set
22 the stage for a robust discussion and really deepening
23 that analysis from here moving forward. So really, just
24 excited to have the conversation today and beyond. I'll
25 pass it-- let's see who we're going to, first. I think

1 we're going to Heidi for the demand forecast overview.

2 Great, thanks Heidi.

3 COMMISSIONER MONAHAN: Just want to, for folks
4 in the room who are not able to see anything on the
5 screen right now, we're working on that, so hopefully
6 that'll be resolved soon. The zoom should be working
7 fine for seeing slides, so if you are in the room and
8 you want to see the slides, I'm sorry, but go to your
9 computer, hopefully it'll be resolved soon.

10 COMMISSIONER MCALLISTER: I have pushed my
11 computer back so I'm not scarily to the fore, so
12 apologies for that, if anybody was scared by my ugly
13 face.

14 MS. JAVANBAKHT: We just needed you all to
15 talk a little longer.

16 (Laughter)

17 Okay, so I can kick this off and the slides
18 will catch up. So good afternoon, everyone. My name is
19 Heidi Javanbakht, and I'm the Manager of our Demand
20 Analysis Branch. I'm going to start us off by
21 presenting an overview of the 2023 Energy Demand
22 Forecast, as well as the forecast updates for this year.

23 Next slide, please.

24 Our forecast work is underway. We've had
25 three Demand Analysis Working Group meetings over the

1 past few months, and materials from those meetings are
2 posted at the link at the bottom of this slide. This
3 workshop today is the first of a series of IEPR
4 workshops on the forecast. We're doing things slightly
5 differently this year where we've split our workshops
6 across two days. So today is the first day of the
7 Inputs and Assumptions Workshop, and today we'll cover
8 common inputs across all the forecast models, and then
9 we have a second Inputs and Assumptions Workshop on
10 Friday to cover the load modifiers.

11 We've also split our Results Workshop across
12 two days. The first workshop will happen in November
13 and will focus on the results of the Load Modifier
14 Forecasts and the second Results Workshop in early
15 December will review the overall forecast results. And
16 then with our usual timeline, we will aim to post the
17 final results in January and then present those results
18 at the January business meeting for adoption.

19 Next slide, please.

20 Okay, so today's agenda is to go over at a
21 high level how the forecast is produced. We'll then
22 give an overview of the major improvements that we're
23 making to the forecast this year. Nick Fugate will
24 present the updates to historical energy consumption and
25 the economic and demographic projections. After that,

1 Richard Jensen will give a presentation on the
2 production cost modeling, followed by Lynn Marshall's
3 presentation on the inputs and assumptions for the
4 retail electricity rate forecast.

5 Next slide.

6 Friday's workshop will cover methodology
7 updates to distributed generation, climate change, the
8 hourly load forecast, additional achievable energy
9 efficiency and fuel substitution, and the transportation
10 forecast. I'll touch on these really quickly today and
11 briefly, but ask that questions and comments on these
12 topics be held for Friday's workshop.

13 And next slide.

14 So, jumping into some background on the CEC's
15 forecast, and thanks to Vice Chair Gunda for already
16 touching on this a little bit. The California Energy
17 Demand Forecast often referred to as the CED or the IEPR
18 Forecast, is foundational to procurement and system
19 planning in the state. It's used by the CPUC for
20 integrated resource planning, by the California ISO for
21 transmission system planning and by the CPUCs and
22 utilities for resource adequacy requirements, and by the
23 utilities for planning.

24 The forecast is a 15-year forecast of both
25 electricity and gas demand in the state. We project

1 annual electricity and gas consumption and hourly
2 electricity loads. The forecast includes scenarios
3 reflecting various levels of adoption of energy
4 efficiency, building electrification, and transportation
5 electrification. The forecast also includes one in X
6 year net electricity peak estimates.

7 Every two years during the odd numbered years,
8 we do a full refresh of the forecast, and that's what we
9 are doing this year for the 2023 forecast. Even number
10 years are update years where we do not-- we don't update
11 all the components of the forecast, allowing the team to
12 have some time to make model improvements.

13 And next slide.

14 In recent years, extreme weather events are
15 occurring more frequently, not just in California but
16 across the globe. This leads to increased uncertainty
17 in grid planning and a need for our planning processes
18 to continuously adapt. As an example, the heat event
19 last summer by the 30-year historical record was a one
20 in 27-year weather event. However, we recognize that
21 extreme weather events are occurring more frequently
22 than they did over the last 30 years, and that
23 historical weather data are no longer sufficient for
24 predicting future weather patterns. And at Friday's
25 workshop we'll discuss updates to the forecast to better

1 reflect climate change impacts on energy demand.

2 Next slide.

3 At the same time that we are experiencing the
4 impacts of climate change, the state is strategizing on
5 how best to meet economy-wide carbon neutrality by 2045.
6 Many of the strategies impact energy demand, and we've
7 seen an uptick in policies and programs aimed at
8 increasing energy efficiency, electrifying buildings and
9 transportation, solar PV and battery storage, and ways
10 to shift load to off peak hours. As these new policies
11 and programs are developed, they are incorporated into
12 the forecast. Because there is uncertainty around how
13 decarbonization policies and programs will be
14 implemented or how the market will respond, we attempt
15 to capture that uncertainty through various additional
16 achievable scenarios, and those will be covered in more
17 depth on Friday.

18 Next slide.

19 This chart highlights the impacts of adapting
20 our forecast over time due to evolving planning needs.
21 Each line in this chart is the forecasted net peak
22 demand for the California ISO region from previous IEPR
23 forecasts going back to 2018. Since 2018, each
24 subsequent forecast has had an increase in forecasted
25 net peak demand due to various changes. I'll start with

1 the most recent changes. We first incorporated the Air
2 Resource Board's Advanced Clean Cars II and Advanced
3 Clean Fleets regulations in the 2021 additional
4 transportation electrification scenario, which is the
5 green dash line on this chart. That was also included
6 in the 2022 IEPR forecast, which is the orange line.
7 Those regulations account for the majority of the
8 increase in net peak demand from the 2021 IEPR forecast.
9 The 2021 IEPR forecast also introduced the additional
10 achievable fuel substitution load modifier to capture
11 building electrification impacts.

12 Another change during that year was update to
13 the peak normalization process where we sampled recent
14 years in the 30-year historical weather record more
15 frequently to better capture climate change. Another
16 notable observation between the 2018 IEPR and the 2022
17 IEPR forecast is that behind the meter solar PV capacity
18 has increased. this has shifted the net peak hour from
19 hour 17 to hour 19 when solar production tapers off for
20 the day. Lastly, all of this is entangled with growth
21 in the underlying baseline consumption forecasts built
22 from economic demographic and rate projections.

23 Next slide.

24 I am going to shift gears now to go over the
25 forecast approach at a high level setting the stage for

1 the rest of the presentations today and on Friday.

2 Next slide. Oh, one second.

3 VICE CHAIR GUNDA: Just on the question on the
4 terminology of net peak here, would you just kind of
5 expand what net peak in this context means?

6 MS. JAVENBAKHT: Yeah, it incorporates the
7 solar PV generation. So, it's the total consumption
8 minus the solar PV.

9 MR. FUGATE: Minus behind the meter resources.

10 MS. JAVENBAKHT: All behind the meter
11 resources.

12 VICE CHAIR GUNDA: Yeah, not the supply side.

13 MR. FUGATE: Right.

14 VICE CHAIR GUNDA: So yeah, I just wanted to
15 make sure that I think we don't have anybody confused
16 because we are using the net peak terminology on the
17 supply side. Thanks.

18 MS. JAVENBAKHT: Good clarification. Thanks.

19 Okay. We produce a system level forecast, and
20 our forecast is for eight electricity planning areas and
21 eight gas-- sorry, four gas planning areas. On the
22 electricity side, this includes the three IOUs, Northern
23 California Non-CAISO, which we refer to as NCNC, LADWP,
24 Imperial Irrigation District, Burbank/Glendale, and
25 Valley Electric Association.

1 On the gas side, it's the three large gas
2 utilities in the state plus an "Other" category to
3 capture the other regions.

4 Next slide.

5 The common level of geographic granularity
6 across all our forecast models is the Forecast Zone.
7 These are based on planning area boundaries in addition
8 to climates. And I will note that these zones are
9 different than climate zones used for energy codes and
10 standards.

11 Next slide.

12 I'm going to quickly cover forecast
13 terminology. The sector models are forecasting total or
14 baseline consumption, and this is before PV or other
15 load modifiers are taken into account. When we layer
16 the behind the meter distributed generation impacts on
17 top of this, this brings us to Baseline Sales. After
18 that, we layer on the impacts of the additional
19 achievable scenarios for energy efficiency, fuel
20 substitution, and transportation electrification, and
21 that is referred to as the Managed Sales.

22 Next slide.

23 The next few slides, we'll walk through the
24 forecast model system. The starting point for the
25 models is the historical electricity and gas sales data

1 reported by the utilities through the Quarterly Fuel and
2 Energy Reports, or QFER. We add to this our estimates
3 of historical behind the meter distributed generation to
4 come up with historical electricity and gas consumption.
5 The historical consumption data are provided to the end
6 use and NAICS code based forecast models.

7 Next slide.

8 Economic and demographic projections. Oh, one
9 more slide ahead. Okay. Economic and demographic
10 projections from Moody's and the Department of Finance
11 are inputs to the models, as well as forecasts of
12 electricity and gas rates. These are the inputs that
13 the workshop today covers.

14 Next slide.

15 Committed energy programs, codes, and
16 standards are taken into account in estimating energy
17 demand for each sector. We also account for the Title
18 24 mandates for PV and storage for new construction.

19 Next slide.

20 Additional achievable scenarios are developed
21 for energy efficiency, fuel substitution, and
22 transportation electrification. These scenarios are for
23 impacts above and beyond the committed energy programs
24 such as proposed programs and regulations, capture-
25 sorry, such as proposed programs and regulations such as

1 the proposed zero-emission appliance regulations
2 proposed by the air districts. That's a good example of
3 the types of things that are in these scenarios.

4 Next slide.

5 The load modifiers in the orange boxes are
6 combined with baseline consumption to create the managed
7 annual sales forecast scenarios. And this is the end
8 result for the gas forecast. The electricity forecast
9 has one additional step.

10 Next slide.

11 The hourly load model is run to create the
12 managed hourly load forecast from which we extract net
13 peak demand, and from here we also estimate the one in X
14 year net peak demand.

15 Next slide.

16 Moving on now to talk specifically about the
17 updates that we are in the process of implementing for
18 the 2023 IEPR forecast.

19 Next slide.

20 For the 2023 CED, we are adding additional
21 years to the forecast horizon and forecasting out to
22 2040. This is to support the California ISO's
23 transmission planning process per SSB 887, which was
24 passed last September. We are also conducting another
25 round of the long-term demand scenarios to be completed

1 next spring and are extending projections out to 2050
2 for that work. The long-term demand scenarios feed into
3 the assessments for SB 100.

4 For the 2023 CED, we are using a framework
5 similar to the 2022 IEPR forecast. In 2022, we moved
6 from using a low, mid, and high case of economic and
7 demographic projections to just one baseline or mid case
8 forecast. The low and high case from previous IEPR
9 forecasts were not being used, and we wanted to focus
10 our time and energy on capturing uncertainties from
11 decarbonization strategies. So, building from the
12 baseline forecast, we layer select additional achievable
13 scenarios to create the managed forecast for different
14 use cases.

15 The Planning Forecast is used for Resource
16 Adequacy and Integrated Resource Planning. This
17 forecast will use Scenario 3 from each of the additional
18 achievable modifiers. Scenario 3 for these load
19 modifiers has also been referred to as the mid scenario.

20 The Local Reliability Scenario is used for
21 more geographically granular studies, such as the
22 California ISO's Transmission Planning Process. The
23 Local Reliability Scenario will use AAEE Scenario 2,
24 AAFS Scenario 4, and AATE Scenario 3, resulting in a
25 more conservative forecast with higher demand in order

1 to account for increased uncertainty when looking at a
2 smaller geographic granularity. And again, the inputs
3 and assumptions for these scenarios will be discussed
4 Friday, and you can get a better understanding of the
5 differences between those scenarios at that workshop.

6 Next slide, please.

7 Each year that we update the forecast, we add
8 an additional year of energy sales and consumption data,
9 we use more recent economic and demographic data, and
10 update the electricity and gas rates projections. For
11 the 2023 CED, we are using Moody's economic projections
12 from May. The Department of Finance released refreshed
13 population projections a few weeks ago, which we will
14 use. They have not yet released new household
15 projections, and so we derived household projections
16 based on their population numbers. We understand that
17 DOF is currently working on refreshing their household
18 projections and may releasing these data in early
19 September.

20 This would be pretty late in our forecast
21 process to incorporate new data. We typically prefer to
22 have all inputs nailed down by around this time each
23 year to allow us to stay on schedule. So, depending on
24 that release date, we'll consider whether it's feasible
25 to incorporate their numbers into the forecast.

1 Lastly, there are updates to the historical
2 electricity and gas rates and updated assumptions for
3 future rates. The gas rates were presented at an IEPR
4 workshop on April 18th, and the electricity rate
5 assumptions will be presented later this afternoon.

6 Next slide.

7 We have a few significant model changes to our
8 forecast this year. The first is a refurbished
9 residential end-use model, which was modernized to use
10 the R programming language, it was previously in
11 FORTRAN, and incorporates data from the latest
12 residential appliance saturation study. The residential
13 model was presented at a demand analysis working group
14 meeting on August 8th, and you can find slides from that
15 meeting using the link from slide two for the DAWG
16 meetings.

17 The second change is the incorporation of new
18 climate simulation data and re-characterization of
19 normal and extreme peak events, and these will be
20 discussed Friday morning. And in addition to that, we
21 held a DAWG meeting on June 1st, which was dedicated to
22 the priority climate change updates to our forecast
23 model where we also laid out our plans for the next few
24 forecast cycles to improve how the forecast accounts for
25 climate change.

1 Next slide.

2 We have several updates to behind the meter PV
3 and storage. And again, these will be discussed more
4 Friday morning. At a high level, these include an
5 improved process for determining historical capacity,
6 which resulted in slightly lower estimates of PV
7 capacity and higher estimates for storage capacity.

8 Also, over the past year, we've been working
9 with the National Renewable Energy Laboratory to adapt
10 their dGen model to California, and that model is ready
11 for us to use for the 2023 CED. The adaptations include
12 the Net Billing Tariff, as well as extension of the ITC.
13 The dGen model doesn't include standalone storage, so we
14 are also in the process of developing a model for
15 standalone storage.

16 Next slide.

17 Lastly, the additional achievable energy
18 efficiency and fuel substitution projections will be
19 refreshed to reflect--

20 VICE CHAIR GUNDA: Heidi? For the-- I mean
21 you said we're going to talk about the behind the meter
22 storage and all the next workshop?

23 MS. JAVANBAKHT: Yep.

24 VICE CHAIR GUNDA: Just at the 30,000 foot
25 level, how are we-- what goes into charging and

1 discharging patterns of behind the meter storage?

2 What's primarily driving that?

3 MS. JAVANBAKHT: Nick might be better to
4 answer that question.

5 MR. FUGATE: So, the dGen model is not an
6 hourly model, it's an adoption model. So, the results
7 from that will be informing our forecast of adoption of
8 these resources. And then in terms of the charge and
9 discharge patterns that go into our hourly model, at the
10 moment we are still modeling the residential sector
11 using assumed arbitrage with latest time of use rates,
12 and also assuming paired PV. And then in the commercial
13 sector, we have been using charge-discharge profiles by
14 market segments taken from Self-Gen Incentive Program
15 impact studies.

16 VICE CHIR GUNDA: I think for-- I mean I'm
17 sure the slides for the 18th workshop are pretty baked,
18 but kind of digging into that a tiny bit for the
19 workshop would help, given the interest in how much we
20 have right now. I think it's 1,400 megawatts now behind
21 the meter storage roughly in 2022? I think? So, we are
22 approaching, you know, over a thousand megawatts and
23 kind of getting a sense of what the load modifying
24 element is and whether-- what level of error we're okay
25 with at this point.

1 COMMISSIONER MCALLISTER: I want to just chime
2 in. It's a great question, a rich topic. I'm wondering
3 just you have-- is there data? Are there data sources
4 for how people are actually dispatching? You know,
5 charging, discharging their batteries? And, you know,
6 maybe from the SGIP evaluation, or you know some of the
7 solar companies maybe have generic data that they're
8 monitoring? I mean, because they're all paying
9 attention to their systems, right? Are there any
10 partnerships there?

11 MR. FUGATE: Yes. So, data is certainly the
12 limiting factor for us and why we have been relying on
13 the impact studies, which do actually include metered
14 systems. So, it is based on actual system performance
15 data. But you know in looking at the reports to date, I
16 mean you can sort of see in the profiles what appear to
17 be kind of a mix of strategies, charge-discharge
18 strategies. You know, some backup power, some peak
19 shaving, some rate arbitrage.

20 So, you know in terms of turning that into a
21 forecast, you know a forward-looking forecast, you sort
22 of need to segment that and determine for each. You
23 know, you have these capacity projections, but then for
24 the different segments, what are the most likely
25 strategies is going to be? So that is-- I don't think

1 we're going to have a lot on that on Friday, but
2 certainly it is on our minds.

3 COMMISSIONER MCALLISTER: Okay. I think just
4 both Vice Chair and I have a strong interest in figuring
5 out. So, we're going to talk about the rates as they
6 are today, but sort of what potential areas for getting
7 people who are just backing up and not arbitraging to
8 actually do some of that, like how much that would cost
9 and what that would look like as we scale up these
10 demand side programs. But I guess that's a tangent
11 really from what we're talking about today.

12 VICE CHAIR GUNDA: Yeah, and then I think--

13 COMMISSIONER MCALLISTER: Really rich
14 discussion.

15 VICE CHAIR GUNDA: --not to kind of like over
16 focus on that one right now and then we'll have whatever
17 discussion we have on Friday. Just the high level stats
18 that you're seeing on, you know, what percent is
19 discharged or any NVP (PHONETIC 33:41). And, like, is
20 there any information for us to understand, you know,
21 what is being, what-- as you said, there are variety of
22 strategies that are being used in discharging. Do we
23 know if they're in programs or not, right? But we might
24 not have it for Friday, but just flagging that as like a
25 really helpful discussion moving forward into

1 reliability and resource planning.

2 MS. JAVANBAKHT: So just to add to this, the
3 distributed generation team has been incredibly busy
4 with all the updates that I just mentioned on the
5 previous slide. This is on their radar for revisiting
6 and updating in the future, but it's probably not
7 something we're going to get to this cycle.

8 Okay, this is my last slide, so let me just
9 finish up here and then I'll hand it over to Nick.
10 Okay. So, the additional achievable energy and fuel
11 substitution projections will be refreshed to reflect
12 the most recent codes and standards and incentive
13 program data. This team is also working with the Air
14 Resources Board to refine the modeling assumptions for
15 the proposed zero emission space and water heater
16 regulation. For transportation, the additional
17 achievable transportation electrification scenarios will
18 be updated to account for the clean miles standard,
19 which applies to companies like Uber and Lyft and sets a
20 target for the percentage of electric miles driven.

21 Next slide.

22 That's it for my presentation. We are going
23 to move on to Nick Fugate next. Nick is the Chief
24 Forecaster within the Energy Assessments Division, and
25 then we will take questions from the dais after Nick's

1 presentation.

2 MR. FUGATE: Thank you, Heidi. Waiting a
3 moment for the next slide. Perfect. So good afternoon,
4 Commissioners. I'm here-- oh, I'm sorry. Lemme turn my
5 camera on real quick. We're all new at this. So, I am
6 here this afternoon to give a brief overview of the
7 economic and demographic scenarios we are planning to
8 use in this IEPR forecast cycle to drive our baseline
9 demand models.

10 Next slide. Let's go one more.

11 So, we review these scenarios every cycle
12 because they're a critical input to our forecast. At an
13 annual level, consumption tends to trend with economic
14 activity. So here I'm showing statewide electricity
15 consumption, historical consumption, against a
16 background shaded to indicate periods of economic
17 retraction as measured by decline in gross state
18 product.

19 So, you'll notice that those periods are also
20 marked by declines in electricity demand. And
21 similarly, consumption rose during periods of strong
22 economic growth in the late nineties and early to mid
23 2000's. And consumption grew slowly during the 2010's,
24 during the long slow recovery from the 2008 housing
25 crash. Each of our sector models is constructed around

1 a specific set of economic indicators most relevant to
2 that sector. So, I'm going to be covering some of the
3 key indicators in this presentation.

4 Next slide, please.

5 Our selection of economic scenarios is similar
6 to previous cycles. We're planning to use Moody's May
7 vintage of projections, specifically their baseline
8 scenario for our economic drivers. The key assumptions
9 underlying this scenario appear still to be holding.
10 This includes the Fed targeting interest rates at 5.25
11 percent, a full employment economy, which puts the US
12 unemployment rate at about 3.5 percent, and no
13 significant shocks to global oil prices. Oil prices
14 have risen from about \$70 a barrel earlier this year to
15 about \$80, and they may continue to rise, but this is in
16 line with Moody's expectations so far.

17 One of the key risks in play during May was
18 that the US could potentially default on its debt, but
19 that was averted in June when the president signed a US
20 debt ceiling bill. And we continue to look to
21 Department of Finance to provide population and
22 household projections.

23 This cycle was a little unusual. The
24 cybersecurity breach at Department of Finance
25 significantly impacted their schedule, and we did not

1 start the year as we normally would with new population
2 and household scenarios. We had discussed this issue
3 with stakeholders at a DAWG meeting earlier this year.
4 At the time, we did not know when to expect updated
5 projections, and so we had proposed to retain the same
6 population and household projections we used during the
7 2022 IEPR cycle.

8 Just last month, however, Department of
9 Finance published an updated population forecast. This
10 is late in our cycle, but we still have enough time to
11 incorporate this new outlook into our modeling. What we
12 don't have yet is an updated household forecast from
13 DOF. Updating the population forecast without updating
14 households would create a pretty significant
15 inconsistency in our assumptions. And so, what we have
16 done is calculate persons per household from DOF's
17 previous projections, so the population and household
18 scenarios that we used in IEPR 2022. And then we
19 applied that to the new population forecast from DOF to
20 derive a projection of households that is hopefully more
21 in line with what we should expect.

22 DOF has indicated that a new household
23 forecast may be available as early as the end of this
24 month, but possibly that could be into September.
25 Incorporating a new household forecast at this point

1 would be pretty challenging. Our modeling work is
2 already well underway, but we will be on the lookout for
3 it regardless to see how closely our population derived
4 projections align with DOF's revised outlook.

5 Next slide, please.

6 VICE CHAIR GUNDA: Nick?

7 MR. FUGATE: Yes?

8 VICE CHAIR GUNDA: If at all there is
9 discrepancy in that, that would be in the outliers,
10 right?

11 MR. FUGATE: If there is significant
12 discrepancy? Well, yeah. So relative to-- yes. So in
13 the very near term, we should be relatively close
14 because we are still benching. Even with this process
15 that I described, we are benching the resulting series
16 to DOF's most recent estimate of 2022 household levels.

17 VICE CHAIR GUNDA: And the 2022 DOF
18 assessment, did that include the push by the
19 administration and the legislature for more housing
20 build out? I mean, like how does DOF consider those
21 things? Like is that evolving in the legislature?

22 MR. FUGATE: So, the 2022 household estimates,
23 it's a historic estimate, so it doesn't account for--

24 VICE CHAIR GUNDA: No, like the previous
25 vintage of the DOF projections. Do we know how forward

1 looking they were in terms of some of the legislative
2 elements being proposed on improving the household stock
3 in California?

4 MR. FUGATE: In the previous vintage? I can't
5 say for certain. I haven't looked too closely at the
6 assumptions that were underlying the previous household
7 projections from DOF. But certainly that's something
8 that we can, once we receive their new forecast, either
9 later this month or next month, we can have some
10 discussions with them about how affordable housing
11 policies or other strategies factor into their thinking.
12 But what I'm presenting today is-- does not take that
13 into account and is just derived from the population
14 projections.

15 VICE CHAIR GUNDA: Thank you.

16 MR. FUGATE: Okay, so here I have a list of
17 some of our key drivers: gross state product, personal
18 income, employment population, and households. These
19 are the most impactful econ demo drivers for our
20 baseline consumption forecast. So, I'll be talking
21 about each of these in the coming slides, but wanted to
22 give an overall snapshot of how they're all trending
23 relative to last year's IEPR forecast.

24 In absolute terms, some of these are actually
25 higher, but since we benchmark our model output to

1 actual base year consumption, it's the annual growth
2 that matters for determining growth in the forecast.
3 And you can see that across the board we're seeing
4 similar or slower long-term growth across our key
5 drivers. And I should note here, and I have to
6 apologize, there's an error on this slide. Commercial
7 employment grew at 0.7 percent annually under the last
8 forecast, CED 2022, not the one percent that's shown
9 here. I didn't catch that until a little bit before
10 this workshop. So, there's not quite as much distance
11 between that driver between the two vintages.

12 Next slide.

13 On this end, for the next several slides, I'm
14 comparing a particular indicator across vintages. So,
15 the 2023 CED versus the 2022 CED update, and showing
16 both within the context of the historical record. We're
17 taking the forecast out much further this cycle to
18 accommodate longer term transmission studies, which is
19 why CED 2023 shows five additional years of data.

20 Gross State Product or GSP is used in a number
21 of our models. It contributes to our agriculture,
22 industrial, mining and TCU forecasts, TCU being our
23 Transportation Communication and Utility sector. We
24 also use GSP as a benchmark to translate between nominal
25 and real dollars over time.

1 Here we can see Gross State Product starts at
2 a slightly higher level in the base here than previously
3 projected, but long-term growth has slowed from 2.5 to
4 2.1 percent annually. Moody's baseline forecast assumes
5 the Fed will achieve its goal of reducing inflation
6 without precipitating a recession, but accounts for
7 elevated interest rates and tightening credit
8 conditions.

9 Next slide, please.

10 We typically think about personal income
11 either on a per capita or per household basis depending
12 on the modeling effort. This is a particularly
13 important driver for our residential demand modeling,
14 both in our end use and econometric models. We had a
15 slight dip in per capita income from 2021 to 2022, but
16 per capita income actually starts at a higher level than
17 previously projected in part due to federal stimulus
18 spending. Long-term growth rates are similar. This new
19 scenario grows just slightly higher than last year's
20 vintage, but both are right around 1.8 percent annually.

21 Next slide, please.

22 Employment contributes significantly to our
23 commercial floor space model as well as many of our
24 econometric sector models. Again, our starting point is
25 slightly higher than previously projected. California

1 has now recovered all the job losses incurred in the
2 wake of the COVID 19 pandemic. The long-term growth
3 rate is a bit lower than CED 2022 levels, half a percent
4 annually, down from 0.7 percent.

5 Next slide, please.

6 So here is population, which is-- it's another
7 driver that impacts a number of our models either
8 directly or through the calculation of per capita
9 indicators. As I mentioned earlier, we look to the
10 Department of Finance to provide California's population
11 outlook. There are clear differences both in starting
12 level and long-term growth. The new projection takes
13 into account the substantial losses that occurred,
14 losses in population that occurred over the last two
15 years.

16 We were fortunate enough to have the US Chief
17 Demographer join one of the panel discussions at our
18 IEPR workshop on California's economic and demographic
19 outlook earlier this year, and provide some insight into
20 their view of California's population outlook. While
21 recent increased rates of domestic outmigration have
22 slowed, long-term growth remains low, particularly over
23 the next decade, reflecting the high cost of living,
24 housing affordability, low fertility, and an aging
25 population. Long-term growth in DOF's new scenario is

1 about 0.2 percent annually, down from what was nearly
2 half a percent in CED 2022.

3 Next slide, please.

4 And so, finishing up with households. So,
5 this is not the same as building stock but rather
6 occupied households. So, households impact our forecast
7 of PV and personal electric vehicle adoption, but has
8 the most direct input impact on our residential sector
9 demand forecast. Both our econometric and end use
10 models predict household energy use. And so, the
11 forecast is actually derived by multiplying our model
12 output by our household outlook.

13 This is the forecast that I mentioned we
14 derived from Department of Finance's July population
15 outlook. We calculated persons per household from the
16 previous vintage of DOF's population and household
17 projections, which is the forecast we used last cycle,
18 and then applied that persons per household essentially
19 divided it into the new population forecast, and then
20 benchmarked the resulting series to DOF's most recent
21 historical estimate of occupied households in 2022. So,
22 as you'd expect given the new population scenario, the
23 resulting growth is lower than projected last cycle, 0.6
24 percent annually down from 0.9 percent.

25 Next slide.

1 So that was the last of my slides. I'll wrap
2 up just by reiterating that long-term growth across all
3 of these drivers is similar to or lower than our
4 previous vintage of drivers. Heidi described earlier in
5 her discussion of our forecast framework, you know she
6 showed that there are quite a lot of load modifiers that
7 go into our final managed forecast. So, we start with a
8 baseline forecast, but then we layer in self-generation,
9 additional achievable modifiers, which now include
10 significant amounts of electrification, and then also
11 climate impacts, which we are currently in the process
12 of refreshing. So that's another plug for our Friday
13 workshop.

14 So, this isn't the whole picture, but based on
15 the inputs today that I presented, it would be
16 reasonable to expect that this will exert some downward
17 pressure on the baseline component of our forecast. So,
18 net of all those other demand modifiers.

19 MS. JAVANBAKHT: Thanks Nick. And so, with
20 that, we will go to the dais for discussion and
21 questions.

22 VICE CHAIR GUNDA: We were asking questions as
23 we go. I don't--

24 COMMISSIONER MCALLISTER: Yeah, we're pretty
25 conversation--

1 VICE CHAIR GUNDA: I don't have any.

2 COMMISSIONER MCALLISTER: I mean, this is a
3 pretty intimate conversational kind of setting.

4 COMMISSIONER MONAHAN: Yeah, I actually prefer
5 it to the stilted dais.

6 VICE CHAIR GUNDA: I like this.

7 COMMISSIONER MONAHAN: Yeah.

8 COMMISSIONER MCALLISTER: That's why we
9 joking.

10 COMMISSIONER MONHAN: If you guys are okay
11 with it being more, just as questions come up and
12 comments come up. Okay.

13 COMMISSIONER MCALLISTER: We have plenty of
14 time.

15 VICE CHAIR GUNDA: When you said dais, we were
16 joking that it should be a round table.

17 MS. JAVANBAKHT: Yeah, I know we're right next
18 to each.

19 COMMISSIONER MCALLISTER: You have time for
20 public comment though, right?

21 MS. JAVANBAKHT: Yeah. Well, we have a couple
22 of questions in the Q&A, both are for Nick. So, I'll
23 read those. And then if there's anyone in the room who
24 would like to ask a question, you can go up to the
25 podium and use the mic.

1 So, there's a question from JP. It says, "In
2 this slide with the drivers—" Oh, okay. "In the slide
3 with the drivers, how does per capita personal income
4 remain constant if commercial employment decreases?"

5 MR. FUGATE: Apologies. I'm trying to pull up
6 the questions here on my screen. I don't have a
7 definitive answer to that. It seems possible if wages
8 are increasing. But that is-- I would have to dive more
9 into the assumptions and, you know, more detailed
10 assumptions underlying the different--

11 COMMISSIONER MCALLISTER: If there's a more
12 specific question sort of in there, maybe you can
13 rephrase and ask again. But it seems like those are
14 relatively-- I mean they're related, but they're not the
15 same thing. So, certainly logical that that could take
16 place.

17 MS. JAVANBAKHT: Okay. And we'll go to an in-
18 person question, and then we'll loop back to the other
19 online question in a moment.

20 MR. MCRAE: Thanks. My name is Tim McCrae,
21 I'm with this Silicon Valley Leadership group. Okay.
22 My name is Tim McCrae. I'm with the Silicon Valley
23 Leadership Group. Still working with the mic. Heidi, I
24 noticed in your presentation that you broke down things
25 by climactic zone. And I'm wondering how geographically

1 specific you have data for things on the economic
2 projections that you're making? How much geographic
3 specificity do you have? Is it built from all these
4 different climactic zones? Or is it more just looking
5 at things at the state level?

6 MR. FUGATE: Yes, so thank you for the
7 question. The data-- all of our data comes in at the
8 county level, and we then aggregate it to our forecast
9 zones and build our forecast room from there.

10 MR. MCRAE: Thank you.

11 MR. FUGATE: And I can respond to Patrick
12 Cunningham's office. So, I think probably what you're
13 looking at, if this is a CAISO report. Oh yes, I'm
14 sorry. So, question reads, "The CAISO's Department of
15 Market Monitoring reports modest decreases in annual
16 total energy since 2020, but the CEC is showing
17 increases since 2020. Has non-CAISO state demand been
18 increasing relatively significantly? Or is there some
19 other explanation or data consideration?"

20 And so that's-- the chart that I was showing
21 was consumption, which is sort of a counterfactual
22 estimate that we put together. Most of our modeling is
23 built around consumption, which is basically what end
24 users are actually-- the demand on the customer side of
25 the meter regardless of how that energy is being

1 supplied. But a significant portion of demand is being
2 met now through behind the meter resources, and that
3 would not show up in the CAISO data. So, our
4 consumption estimates are always higher than estimates
5 of system load, and the difference is essentially the
6 behind the meter generation.

7 VICE CHAIR GUNDA: Nick, maybe you want to
8 just comment on why we use the consumption versus the
9 CAISO sales data?

10 MR. FUGATE: Sure. Just because it gives a
11 better actual picture of what, you know, the behavior
12 that we're trying to model.

13 MS. JAVANBAKHT: There are no other questions
14 online. Is there anyone else in the room who would like
15 to ask a question? All right. It looks like we are
16 ready to move on. So, our next presenter is Richard
17 Jensen. Richard is a senior analyst with the Planning
18 and Modeling Unit, and will be talking about production
19 cost modeling.

20 MR. JENSEN: Good afternoon, everyone. Good
21 to see some faces in person that I have not seen for a
22 number of years here. It's comforting to see you all
23 here. Yes, Richard Jensen. Not the Demand Analysis
24 Branch, but the Supply Analysis Branch, we used to call
25 them offices way back when. I guess we're now branches.

1 But if we could-- do I, oh, here we are. Advance these
2 other slides.

3 But I first wanted to thank the team behind
4 this, Mark, Nani, and Hannah and the rest who've
5 recently departed have been a big part of all these
6 input updates and helping get the slides put together
7 for today's presentation.

8 Next slide, please.

9 So, no results today. Obviously, inputs are
10 the focus and not many numbers. I do have a slide later
11 to illustrate the quantities of renewable energy that
12 we're introducing in our production cost model. And I
13 will try to weave the comments from Commissioners about
14 the advancement of clean energy resources and how we can
15 use our production cost model to take a look at what's
16 going on, especially as we get further and further out.
17 So, I'll keep that in mind as we move through looking at
18 the model that we use and the settings, data inputs and
19 the sources where we derive those and some of the
20 assumptions that we make.

21 Next slide, please.

22 PLEXOS is our model of the last 12 to 14
23 years; production cost model, meaning it's economic
24 driven. We're trying to get the market clear-- not
25 market clearing prices, rather the wholesale price of

1 energy. We use least cost dispatch optimization, so
2 always looking for the least expensive next unit of
3 energy to meet load. It is used widely throughout
4 California and the west, PG&E, Southern California
5 Edison, Southern Cal Gas, SMUD. So, it's been around a
6 while proven, but of course only as good as your inputs
7 and assumptions. We do provide a IEPR database to the
8 public, it provides publicly available data. And it is-
9 - we will provide that to anyone who asks, but the only
10 catch there is you must license PLEXOS to use or read
11 that database.

12 I would say that at times we are asked to use
13 this product to produce things that maybe it was not
14 designed for. And while it may give a look at certain
15 outputs, I do caution that the further we get out in
16 years 10, 15, 20 years and the types of data that we're
17 looking at that, that may not be its best use, it is a
18 production cost model. So, when looking at things like
19 GHG emissions, I know there's been efforts over the past
20 several years to look at hourly GHG emissions. I would
21 caution that this is a deterministic model, and we use
22 one wind shape, one solar shape, one load 0.2 to get our
23 results.

24 Next slide, please.

25 COMMISSIONER MONAHAN: Can you go back?

1 MR. JENSEN: Oh, yes please.

2 COMMISSIONER MONAHAN: Can I just ask a quick
3 question on that? Just go back. So, I mean I've been
4 really impressed with the team's work to make all of our
5 energy data more transparent and accessible. Is there
6 any movement on this front? The fact that it has to be
7 licensed, you have to be licensed to read and to use,
8 has there been any thinking about how to move to a more
9 publicly accessible source?

10 MR. JENSEN: No. No, I half joked there. You
11 know, our inputs are available with their Excel-based
12 CSV type files.

13 COMMISSIONER MONAHAN: Mmm hmm.

14 MR. JENSEN: But the product itself that reads
15 it in its entirety, a license is required. We do our
16 best to produce the results to everyone. Of course, as
17 you know in a readable concise format. We are open to
18 questions. As a team, I believe we have a specific
19 email account designed to answer questions regarding our
20 database. But there is no way currently to look at the
21 data base itself without a PLEXOS license, if that
22 answers your question.

23 Moving on the next slide, please.

24 So yeah, the uses and users here, and I
25 mentioned the greenhouse gas emissions. I'm far more

1 comfortable in looking at annual or seasonal numbers
2 when looking at that, and not unit specific. This model
3 does a very good job of estimating near term things.
4 Again, the further you go out and the assumptions that
5 you make can have more robust or less robust results.
6 But it's a system-wide look, in my opinion, for many
7 things including the emissions.

8 We do iterate with the natural gas team for
9 the gas price forecast for California as they use our
10 gas consumption for utility electric generation as an
11 input. So, we work back and forth with the gas team in
12 trying to better those numbers.

13 Wholesale electricity prices for rate
14 forecasting, I think Lynn will probably touch on that
15 next. And the Efficiency Division has used our data in
16 the past, our results in the past for the time dependent
17 valuation work. Users, academic institutions. I just
18 provided the database and files last night to a couple
19 of students at Stanford University, which is both
20 terrifying and exciting because I appreciate what
21 they're doing, and I hope they find some errors and
22 point those out, and I'm sure that they will.

23 California Electric and Gas utilities, I
24 mentioned a few of those earlier. And now consulting
25 firms are starting to show interest as well. In

1 particular those that work with the smaller entities,
2 community choice aggregators, CalCCA, I was on a call
3 with them a couple of weeks ago with their consultants.
4 So not having the resources to license and run PLEXOS,
5 turning to consulting firms is something they're doing.
6 So, the better product we can provide them on the
7 deterministic side, IEPR database as we call it, the
8 better their work will be.

9 Next slide, please.

10 Just a bit in the weeds but not too deep here.

11 COMMISSIONER MCALLISTER: Can I ask you a
12 quick question, Richard.

13 MR. JENSEN: Oh yes.

14 COMMISSIONER MCALLISTER: Sorry. So, what's
15 the iteration with a user like that? Do they come and
16 say, "Hey, we want to run a particular scenario and we
17 do it?" Or do we just say-- do we just have, I know
18 there's a bunch of scenarios that we typically routinely
19 do, but like--

20 MR. JENSEN: You're referring to the--

21 COMMISSIONER MCALLISTER: -- a portfolio of
22 scenarios sort of evolving to look like.

23 MR. JENSEN: Are you referring to the
24 consulting firms that would use it on behalf of another?

25 COMMISSIONER MCALLISTER: In part, I guess.

1 But I guess I was understanding that we were producing
2 sort of output.

3 MR. JENSEN: Oh no.

4 COMMISSIONER MCALLISTER: Okay, so we're just
5 providing--

6 MR. JENSEN: We're providing the database and
7 the files at any question they have, and then they can--

8 COMMISSIONER MCALLISTER: And then they can go
9 to the consulting firm and say we want this.

10 MR. JENSEN: --right, right. And I would say
11 the last conversation I had with a consultant, they are
12 looking far more deeply into the economics, which is an
13 area that we have struggled with over the years. So,
14 providing information to us from what they're seeing is
15 very helpful to us.

16 COMMISSIONER MCALLISTER: Yeah, exactly.
17 That's kind of where I was going with that.

18 MR. JENSEN: Symbiotic relation.

19 COMMISSIONER MCALLISTER: How much back and
20 forth are we having with those users for those consumers
21 of our work?

22 MR. JENSEN: Yeah, but to be clear, we're not
23 running simulations on behalf of any other entity.

24 COMMISSIONER MCALLISTER: Okay, great. But do
25 we gather their sort of perspective to develop our own

1 scenarios?

2 MR. JENSEN: To this point, no. This is my--
3 unless it's been a contracted consulting firm that is
4 doing work on behalf of another division or our office,
5 no.

6 COMMISSIONER MCALLISTER: Okay, good. Thanks.

7 MR. JENSEN: For modelers out there or anyone
8 interested, regional aggregations, loads and resources,
9 so large utilities or balancing areas is how we put our
10 hubs together. We'd be looking at Southern California
11 Edison, Arizona Public Service, Balancing Area in
12 Northern California. It's that level of granularity, if
13 you will. Again, deterministic studies that are not the
14 reliability stochastic where you're running hundreds if
15 not thousands of simulations. We do model every hour of
16 the forecast horizon.

17 PLEXOS uses a one day look ahead to inform.
18 So, if it's anticipating a large outage draw the next
19 day or there'll be a spike in loads at the beginning of
20 a heat event. Or if you're getting toward the end of
21 the month, perhaps hydro resources have used a good
22 chunk of its energy for that month. The look ahead will
23 give it a crystal ball effect, so you can use that one
24 day.

25 Now any attempt to lengthen that does slow

1 down your run times considerably. Run time is currently
2 about two hours per year. And that is-- one reason for
3 that, as I mentioned here in the last bullet, a linear
4 modeling approach, meaning that PLEXOS can dispatch a
5 partial unit or use a sweet spot on the heat rate curve
6 to meet that next unit of energy. The alternative to
7 that would be to turn a unit on or off.

8 I've tested that many years ago. The
9 differences were slight, and the runtime is an
10 exponential increase. Instead of the two hours per year
11 you're looking at, if I'm not mistaken, it's eight to 10
12 hours per year. Of course, we're using upgraded
13 computers now, but again, the linear approach is a
14 significant savings in runtime.

15 Next slide, please.

16 So, some of the data sources, data and sources
17 that we use: of course the demand forecast, which was
18 the focus, primary focus today; hourly for the IOUs, we
19 do have to develop at this point the hourly POUs, and
20 that's using a load shape derived from five years of
21 historic data for those publicly owned utilities; PEC;
22 natural gas prices, QFER. Mike Nyberg's team does a
23 great job and we use the historical gen for the past
24 couple of years. Keeping in mind that loads may have
25 been a little higher or lower, hydro may be better or

1 worse, but we can use that to calibrate against the
2 first few years of our simulations to see if we're
3 close. But again, the further you go out in the horizon
4 that the more iffy it becomes.

5 Also, and I'll show a bit here, I do have one
6 number slide today, the PUC preferred system plan used
7 as a guide to guide renew energy additions. The Western
8 interconnect data from WECC and EIA, a good source for
9 that is the anchored dataset. The one issue with that
10 is they're one year, 10 years out. So currently the
11 production cost data subcommittee is looking at 2034 as
12 the year they're running. Well, that doesn't do us a
13 lot of good in 2030, et cetera. But we can use that as
14 a gauge/a guide to get to that point.

15 The demand forecast that we use a combination
16 of EIA and the WECC loads and resources subcommittee
17 that collects that data. Some of it is that the near-
18 term years are confidential, so we have to massage that
19 back in a little bit, and they don't always go out as
20 far as our simulation horizon. So, at times there is a
21 need to build peak in energy out in the latter years,
22 which can be a little tricky.

23 Also, EIA or rather a state level information
24 for RPS and clean Energy, noting that the IEPR this year
25 focusing on clean energy resources and implementation,

1 other western states, in particular Washington and
2 Oregon, looking at clean energy standards. Colorado has
3 a pretty robust, fairly robust RPS as well. And then
4 you're seeing other players jump in there. So, the
5 changes in resource profiles, the availability of
6 renewable energy inputs, so panels and wind turbines and
7 things like that. As other states ramp up theirs, it
8 could be a challenge just as an aside. But they have
9 many states now looking at that.

10 VICE CHAIR GUNDA: Richard, just on the-- so
11 for the gen there, so just kind of backing up just a
12 tiny bit. For the PLEXOS model, for the purposes of
13 developing the forecast for the gas consumption, this is
14 gas consumption for thermal fleet, right?

15 MR. JENSEN: Yeah, utility electric gen, yes.
16 With the Jennifer Campana team. Yes.

17 VICE CHAIR GUNDA: So just want to make sure
18 then, did I understand that we use a point forecast for
19 the demand in this? So, when you run this, are we using
20 a single demand forecast? And then for the historical
21 gen data, we're also using a single point, for example,
22 wind and solar or hydro? What are the profiles we're
23 using?

24 MR. JENSEN: Right. So yes, the demand
25 forecast, one point forecast to develop the gas burn

1 going forward that we pass back to the natural gas team.
2 For wind, solar, we have profiles that are built.
3 Again, much like the POU load for files built with five
4 years of data. Aggregating that in certain areas to
5 keep it-- to protect anything that may be deemed
6 confidential, and to create a larger wind resource area
7 or profile. Comparing our results on an annual level to
8 QFER is very beneficial. So, you can go back a couple
9 of years, especially for wind and solar and we're very
10 close.

11 The wild card of course is hydro, which we use
12 an average of 15 years of monthly generation data. And
13 you will note when you look at QFER that there is no
14 sort of mode, right? It's either high or low. It's 42
15 or 39, or it's 15 or 16. It's very seldom 27 or 29,
16 which is right about where our average is. So hourly
17 profiles built, developed by the team based on five
18 years of data.

19 VICE CHAIR GUNDA: Sorry. And then, so the
20 natural gas prices, so like you know, the volatility of
21 the prices last year that we've seen, right? Like in
22 December or a couple of years ago, what kind of impact
23 do they have on the dispatch? I mean, one of the
24 struggles is, is it truly kind of elastic like when you
25 actually do-- I mean, the production cost model is

1 simulating the least cost dispatch, right? But in
2 reality, you know, does it pretty closely track?

3 MR. JENSEN: California wide? Yes. If our
4 inputs for other things-- recently we had a bit of a--
5 we put in too much renewable generations and I was like,
6 well, why is the gas burn so low? Well, we went back
7 and found we had a little too much. So, we backed that
8 out, here comes the gas burn at a far more acceptable
9 level. Again, when you compare everything, generation
10 resource types.

11 We do not model those sort of volatile events.
12 We are getting the annual price monthly from the burner
13 tip model, and those are massaged out during the process
14 of creating the gas prices. So, we're getting a monthly
15 look at what is a reasonable, I guess you could probably
16 say a one and two gas price forecast. I don't want to
17 speak for the gas team, but you're not seeing large
18 spikes. You do see price increases throughout the year,
19 and you do see in general an increase of those gas
20 prices over time throughout our forecast horizon.

21 VICE CHAIR GUNDA: The last question. On the
22 imports, are you using an hourly profile too for
23 imports?

24 MR. JENSEN: No, the imports are coming as
25 economically desirable into California. I'll touch on

1 that here in just a moment as well.

2 VICE CHAIR GUNDA: Thanks.

3 MR. JENSEN: With that, I think next slide,
4 please.

5 So probably a bit of an underused source at
6 this point are the utility Integrated Resource Plans,
7 which are valuable, but there are many, they are lengthy
8 and there's a lot of detail. You'll see a business as
9 usual case, a high economic case. You'll see, a well,
10 we're going to meet an outstanding renewable target
11 case. So, it makes it difficult to pick one out. And
12 they're not uniform in any way between states. Some are
13 filed every two years, some every five years is the
14 requirement, and they'll have differing lengths of those
15 filings. You'll see some that will go out quite further
16 than others.

17 Sticking to the preferred plan is usually the
18 way to go. Interesting of late though, so with the
19 change in system and retirements of large coal plants,
20 and the consistent growth in the desert Southwest, one
21 Utility Resource Plan I looked at, actually, I believe
22 it was their business as usual case. They said, "Look,
23 we're short in 10 years." That was never the case. You
24 would never see the red numbers in there beneath their
25 peak load or their energy. There was always some

1 assumption that they would meet it with a gas or coal-
2 fired resource. But I thought that was interesting to c
3 a major utility say, "We know we're short, we just don't
4 know how we're going to meet it just yet."

5 And that, in this type of modeling, needs to
6 be looked at in terms of the, I hate to use the phrase
7 planning reserve margins as we know those can be tricky,
8 but in other forums I have heard states, utilities
9 consulting, consultants suggest that WECC-wide, Western
10 Interconnect-wide, we could be seeing some diminishing
11 reserve margins and available energy for California,
12 which has hopefully been the case.

13 Next slide, please.

14 So physical system input, some examples of
15 those and where we get that data.

16 COMMISSIONER MCALLISTER: Richard, can I butt-
17 in real--

18 MR. JENSEN: Of course.

19 COMMISSIONER MCALLISTER: I just want to put
20 in real quick. On that last point, is that just sort of
21 a feeling that's going around? Or is that actual
22 analysis that WECC has been doing? Because they've been
23 trying to pull together a lot of the different forecasts
24 and having to kind of translate between them, and--

25 MR. JENSEN: Yeah, you know, I tuned into some

1 of the-- I don't want to confuse the Western Electricity
2 Coordinating Council with the Western Interconnect.

3 COMMISSIONER MCALLISTER: Yeah.

4 MR. JENSEN: Sometimes I use those
5 interchangeably.

6 COMMISSIONER MCALLISTER: You know, WECC has
7 been pulling together all these--

8 MR. JENSEN: WECC's been doing some
9 reliability studies, and they've been warning about
10 this. But I've also seen, again in other forms, one in
11 the northwest in particular, what, was a year or two ago
12 when they're like, look, you may not want to depend on
13 us 10, 15 years out. We're seeing coal plants retiring,
14 we're trying to get away from gas. We may not have the
15 24/7 hydropower that's always been available. In light
16 of things like climate change, load growth, you're
17 seeing smaller utilities up there too, taking on-- oh,
18 the-- as part of one of the warehouses for data,
19 forgetting the name of them, server farms if you will.

20 COMMISSIONER MCALLISTER: Oh, yeah.

21 MR. JENSEN: Some of those are starting to pop
22 up. And of course those have 24/7 requirements, climate
23 controlled, et cetera. So, it's been a-- you know, I
24 try to listen in on what others are thinking. Excuse
25 me. And it's been an issue that's been brought up a few

1 times in the last--

2 COMMISSIONER MCALLISTER: Something we-- I
3 mean, I think in these west-web forums, we can like WECC
4 looks to the various west-wide coordinating groups
5 amongst the states and everything to help them define
6 what they ought to be on. Right? So maybe we should be
7 drilling in on that if they're-- I think they're already
8 looking at it, but it'd be--

9 MR. JENSEN: The reliability--

10 COMMISSIONER MCALLISTER: Yeah, it'd be to--

11 MR. JENSEN: --if you will. Right.

12 COMMISSIONER MCALLISTER: It'd be good to get
13 a check in with them on that. Thank you.

14 MR. JENSEN: Welcome. Again, where we can use
15 QFER data for our inputs, EIA for others. In that first
16 bullet point, you know, the efficiency of power plants,
17 we try to update the heat rates based on EIA data, sims
18 data. Planned retirements are always fluid, especially
19 in the coal fleet. And then again monthly hydro
20 generation, we make those assumptions for a 15-year
21 average for not only California but Pacific Northwest as
22 well.

23 One area we might want to take a closer look
24 at is how we're modeling Hoover. Of course, we all have
25 seen the stories regarding the low levels of the low

1 water levels at Hoover. Demand profiles using Nick and
2 his team's forecast. And for the hourly for the IOUs
3 developing POU shapes, and then for out of state the
4 anchor dataset and the data that's collected by the
5 loads and resources subcommittee as part of the WECCC.
6 And load modifiers, I'll be tuning into that Friday,
7 Thursday or Friday for the load modifiers workshop.

8 Modeling system constraints. So, talk about
9 California generation, and are we getting the right
10 levels of generation compared to history? One thing we
11 do occasionally is put our thumb on the scale and keep
12 some of the region's load met by in-state natural gas.
13 That is because if we do not, PLEXOS will tend to favor
14 some out-of-state resources from time. We will see that
15 import number creep up when we know in fact that some of
16 these power plants in the state are running. And while
17 PLEXOS does a good job, it is not perfect and it will
18 always select the next least-cost resource, whether
19 that's instate or outstate. And import and export
20 limits. I believe during the peak hours for California,
21 we limit that number to about 15,000 megawatts, and
22 exporting, net export limit of about four or 5,000
23 megawatts.

24 Next slide, please.

25 Some of the economic variables and their

1 sources. Fuel price, we mentioned natural gas, coal and
2 uranium prices, which are not as significant inputs as
3 they used to be given the changing system from EIA.
4 Wheeling rates, sadly we lost our economist. She left
5 us a couple of weeks ago now to go back to school, but
6 she was really getting a handle on how to develop and
7 input wheeling rates for transportation calculations.
8 Of course, we don't have any cost for internal flows
9 between the IOUs or POUs in California.

10 COMMISSIONER MONAHAN: Can you say what a
11 wheeling rate is? Wheeling rate would be the cost of
12 moving energy from one tack area to another. We
13 actually use a hurdle rate, which combines that with a
14 CO2 cost adder as well. So, you're looking at the
15 amount it would cost to ship a megawatt hour from one
16 location to another, say Arizona public service and the
17 ISO. So, the economic input's not my specialty. I've
18 always passed that off to someone. But again, we just
19 lost our expert a couple of weeks ago.

20 So, the CO2 prices as a part of that, we use
21 the California, and I believe Alberta still has a CO2
22 cost that they produce annually. Other costs are
23 variable operation and maintenance and start costs. We
24 rely heavily on the anchor data set for that. And then
25 to adjust for inflation, we use the Moody's Deflator.

1 Next slide, please.

2 So, some assumptions. Generic, unnamed, yet
3 to be built additions, in state, out of state for
4 California and other states, those locations and
5 resource types and amounts. Put in a resource build and
6 test it and see what the results look like and maybe
7 make some adjustments to that. But keeping in mind we
8 need to be close on state RPS quantities every year, or
9 at least every couple of years. And with hydro, a
10 monthly average forecast by plant for the last 15 years.
11 And those policy driven assumptions again, which are
12 becoming more prominent now, especially throughout the
13 west.

14 Next slide, please.

15 So not a lot of-- this would be the only
16 numbers slide in the presentation here, which was by
17 design. Just to look at some specific years and the
18 types of resources that are added. And this is--

19 VICE CHAIR GUNDA: Oh yes, just one question.

20 Just going back to that imports question. So, like as
21 you are kind of developing the production cost model
22 results, you have the demand, you have in-state
23 generation that you're all baking in. So, for imports
24 because it's economically dispatched, is there a limit
25 that you put on the imports? Or if it just goes all the

1 way to MIC?

2 MR. JENSEN: The imports are limited at time
3 of system peak, or so many peak hours by the MIC. Other
4 hours are not. But given that California has a
5 considerable amount of in-state resources, hydro
6 generation or renewable resources, hydro generation,
7 efficient gas, it's not that we-- no, we do not dictate
8 the import limit for our production cost model. It is
9 in a sense free flowing with some exceptions for those
10 peak hours.

11 And there is a component to the wheeling rate
12 that is added, sort of a commitment adder for units out
13 of state, that increases that rate just a bit to prevent
14 too much economic energy from flowing into the state.
15 And this is a modeling tool that others have used that
16 we have seen in a couple of different studies. Again,
17 because PLEXOS is very good at what it does, and that's
18 finding that cheap energy to move to the place to keep
19 costs down. Because California's cost normally
20 significantly higher than it would be to send elsewhere.
21 So, in looking at the system at its entirety, California
22 being such a large entity, it's moving power there, but
23 there are tools at our disposal and general requirements
24 in state adders to the wheeling rates.

25 VICE CHAIR GUNDA: Got it, thank you.

1 MR. JENSEN: So, this slide just oh, yeah.

2 COMMISSIONER MCALLISTER: So, if there were
3 just a run-on new construction, you know, outside of the
4 state, and like it was very low cost or something. In
5 theory, could there just be-- could that displace in-
6 state resources?

7 MR. JENSEN: If you had zero cost for
8 transmission?

9 COMMISSIONER MCALLISTER: Yeah, I mean the
10 wheeling rate provide--

11 MR. JENSEN: That's your buffer, right?

12 COMMISSIONER MCALLISTER: That's barrier,
13 right?

14 MR. JENSEN: That's what's pushing back
15 against it. Because that-- the fleet that we have, so
16 much renewable energy, again, hydro all the nuke that's
17 going to run.

18 COMMISSIONER MCALLISTER: In-state's going to
19 just win in that.

20 MR. JENSEN: Yeah. Given that economic
21 disincentive to import.

22 COMMISSIONER MCALLISTER: This is not exactly
23 on point, but I guess I'm wondering how are you tracking
24 the greenhouse gas content of imports at this point?

25 MR. JENSEN: That work has not been updated in

1 a little over a year. It is on our list of to-dos, but
2 we lost our expert. As you know, Angela Tanghetti
3 retired about a year and a half ago and she was a key
4 member of that team. Unfortunately, the person who left
5 a couple of weeks ago was sort of her backup or
6 replacement. So, work that we will need to again
7 revisit, but we can make assumptions about the
8 greenhouse gas emissions from various resources. Not to
9 get too far into the weeds, but our transmission system
10 is broken up into the actual system line and then
11 dedicated lines that bring renewable energy that are
12 contracted with out of state. So, if there's an out of
13 state wind resource, we bring it in through that line.
14 Those are tagged with varying levels of GHGs so that we
15 can say, well over the course of a year this much is
16 accountable from that line coming from the northwest or
17 southwest.

18 COMMISSIONER MCALLISTER: Okay, that's
19 helpful. Thanks.

20 MR. JENSEN: So, these numbers taken from, I
21 believe a report, SB 846, from a few months ago. Thanks
22 to Hannah for putting this together. You can see the
23 cumulative additions here are significant. And you
24 know, where do we put them? Well again, it's trial and
25 error. A lot of the solar has to go in the sunny areas,

1 the wind has to go in the windy areas, et cetera.

2 One other factor you're seeing here now up
3 here in 2030 is the-- I'm sorry, in 2026, is the
4 offshore wind. When you get to significant quantities
5 of that, you start seeing some changes to the flows on
6 lines. Something we're mindful of, but we're starting
7 to put in resources with very similar profiles in large
8 quantities, and that has an impact on where energy
9 flows, where it is needed at certain times. So, this is
10 part of the work that will be ongoing to ensure that
11 we're not passing off databases to those who need them
12 with things that should be addressed. Or at least the
13 caveats associated with it.

14 Next slide, please.

15 Quickly, we do have the planned retirements
16 and additions. There's a fuel switching considerable
17 that went in Alberta. Now that doesn't have necessarily
18 an impact given its transmission. Interconnections are
19 with BC and Montana, that's not a huge electric issue.
20 But if you're switching from coal to a lot of gas up
21 that way, you may see some northwest gas flowing that
22 way at times if Alberta finds it economic to do so.

23 Of course, the once through cooling units are
24 always on mind. In our deterministic database, the
25 natural gas units, once through cooling are essentially

1 retired. We don't anticipate them running because we
2 don't use a forecast, a load forecast, that would
3 trigger that. And as far as Diablo Canyon at this
4 point, the latest simulations that I pass the results
5 off and then the database that we're using retires in
6 2024 and 2025. Of course, that's subject to extension.

7 Transmission expansion. This is something
8 that needs to be addressed, but for the time being,
9 we'll follow the lead of the Anchor data set. They do
10 collect data regarding transmission expansion from their
11 utilities, if I'm not mistaken.

12 Next slide, please. And that's the end of my
13 presentation. Be glad to take any questions or
14 comments.

15 VICE CHAIR GUNDA: It was, first of all, nice
16 to see you, it's been many years. And thank you, that
17 was really a helpful presentation. The one element for,
18 you know, discussion outside of this meeting just kind
19 of thinking through, is kind of the volatility of the
20 gas prices, right? That question. The in-state gas
21 storage, especially with the resolution in front of CPUC
22 to double the Aliso Canyon storage. I mean how does
23 this play into the overall, you know, gas burn and other
24 things that'll be helpful to just understand for policy
25 reasons? Not for forecasting, but it'll be good to

1 talk. Thank you.

2 MR. JENSEN: Yeah, sure. The price is, of
3 course, something that would impact our studies. But,
4 you know, that-- we do not model gas storage of course.
5 We assume that for our power plants, gas is free flowing
6 and available.

7 VICE CHAIR GUNDA: Yeah, I think at least the
8 hypothesis there is, if we had a lot of gas storage, you
9 know, you could mitigate the volatility of the gas
10 prices in real time and so keep the gas prices low
11 overall. At least that's what the system sees. I think
12 that's the IDM and it has an indirect implication into
13 the overall effect. So, thank you. That would make
14 sense to me.

15 COMMISSIONER MCALLISTER: That was great,
16 Richard. Thanks very much. Unfortunately, I have to
17 head over to the Cal EPA building, so I'm going to miss
18 the rates, but I'll make sure to listen in and let you
19 know if I have any questions ex post. Thanks Lynn,
20 sorry to miss.

21 MS. JAVANBAKHT: Okay, moving to the Q&A, are
22 there any questions in the room? It doesn't look like
23 it, but you have time if you change your mind. We've
24 got several questions online in the Q&A box.

25 The first is from Claire Broome. "How does

1 least cost dispatch compare wholesale resources such as
2 in front of the meter PV, on the DG, not requiring
3 transmission with resources requiring transmission?"

4 MR. JENSEN: I'm reading that question
5 properly. We do not model the DG system where we model
6 the bulk electricity system. And any resource that is
7 renewable is dispatched. It would not compete.

8 MS. JAVANBAKHT: Thanks, Richard.

9 MR. JENSEN: And Claire, I hope that answers
10 your question. If not, you can follow up with that.

11 MS. JAVANBAKHT: The second question, this one
12 is from Kyle Navis, and I apologize if I'm pronouncing
13 your name incorrectly. "At the Public Advocate's office
14 at the CPUC, have you made any cost modeling assumptions
15 related to the start of the extended day ahead market in
16 2025? If not, when do you anticipate incorporating its
17 impact on the markets?"

18 MR. JENSEN: We do not. We don't model
19 markets. This is not something we would have the
20 resources or the ability to do at this time.

21 MS. JAVANBAKHT: Next question is from Jamie
22 Randolph at PG&E. "Are you going to include hydrogen
23 for long duration energy storage and power gen from
24 hydrogen?"

25 MR. JENSEN: I believe there's a position that

1 has been created within our branch that will look at
2 hydrogen resources specifically. And yes, to answer
3 your question, eventually we would include those as part
4 of the resource build. But I don't have a timeframe on
5 that.

6 COMMISSIONER MCALLISTER: Before I leave,
7 could I ask a question about that? Actually, you know
8 the-- I mean, SB 100 is going to start up here pretty
9 soon. And sort of the-- how are you thinking about the
10 sort of clean firm, you know, in those out years, you
11 know, 10 years and beyond? What is being-- what is
12 PLEXOS grabbing at that time?

13 MR. JENSEN: Well, it's not a capacity
14 expansion model.

15 COMMISSIONER MCALLISTER: Oh, right.

16 MR. JENSEN: It runs what we feed it.

17 COMMISSIONER MCALLISTER: Right.

18 MR. JENSEN: We would need more--

19 COMMISSIONER MCALLISTER: What are you feeding
20 that in 2040 or whatever?

21 MR. JENSEN: Right, right. So, one issue that
22 my colleague, Mark Kootstra has brought up, is we would
23 have to incorporate the-- if you wanted to do it at
24 scale, the amount of hydrogen that would have to be
25 produced in order to feed those generators, and how much

1 more renewable energy? Or how would you do that?

2 Because it has to have a fuel type, and it has to run.

3 COMMISSIONER MCALLISTER: At what cost, right?

4 MR. JENSEN: And at what cost, right. Yes,
5 exactly.

6 COMMISSIONER MCALLISTER: Okay. So, it's
7 still kind of undefined with some assumptions that are
8 sort of generic in a way?

9 MR. JENSEN: We have none of those resources
10 in our database.

11 COMMISSIONER MCALLISTER: Oh, okay.

12 MR. JENSEN: At this point, it's a talking
13 point amongst the team.

14 COMMISSIONER MCALLISTER: Okay, got it.

15 MR. JENSEN: And I would assume that filling
16 that position would probably get us a little further
17 along.

18 COMMISSIONER MCALLISTER: Thank you.

19 MS. JAVANBAKHT: Okay. Richard, I'm going to
20 loop back around to Claire's question. She added a few
21 more comments in here. She says she's asking about bulk
22 in front of the meter. I don't know if that clarifies
23 the question for you.

24 MR. JENSEN: So, we model utility scale PV as
25 a must-run resource. It will operate and provide energy

1 to the bulk transmission system to meet load, and it
2 will only be curtailed if it is economic to do so, or
3 necessary. At this point we're not seeing that as an
4 issue. So, we're not talking about-- I understand your
5 question is not for behind the meter PV. We do model
6 utility scale solar in front of the meter; no cost, must
7 run resource.

8 MS. JAVANBAKHT: Okay. And then one more
9 question from the Q&A, and then we'll move to the raised
10 hands. Rae Brigham, sorry if I'm mispronouncing that
11 asks, "Will you be releasing additional information
12 regarding import assumptions and modeling?"

13 MR. JENSEN: No plans for a report at this
14 time, but you can always reach out
15 Richard.Jensen@energy.ca.gov, and we could have a
16 conversation if you'd like about that. But nothing in
17 the works as far as releasing any reports. But the next
18 study I guess on our plate, SB 100, is coming down the
19 pike. So please submit your questions in that forum as
20 well.

21 MS. JAVANBAKHT: Yes. Okay. We have one
22 question in the room.

23 MR. MCRAE: Thanks. Again, on the geographic
24 specificity of data, it sounds like you were saying that
25 you break down the forecasts by utility and by balancing

1 authority. Is that correct? And then you build up the
2 large forecast from there. Is that the level of
3 specificity that you get to?

4 MR. JENSEN: If you're referring to the
5 region's comment that I made?

6 MR. MCRAE: Yes.

7 MR. JENSEN: Right. So, Edison, PG&E, LA,
8 Burbank/Glendale, and resources are added to those to
9 meet load.

10 MR. MCRAE: But you don't specify within the
11 utilities or the regions, correct?

12 MR. JENSEN: Yes, we do. For-- Edison has its
13 fleet, PG&E has its fleet, San Diego has its fleet. The
14 smaller you know, we don't differentiate between SMUD
15 and MID, it's bank. We don't differentiate between Los
16 Angeles, Burbank and Glendale, it's LABUGLE.

17 MR. MCRAE: That's helpful. Thank you.

18 MS. JAVANBAKHT: Okay. And we will move to
19 attendees that have their hands raised. The first
20 person I see again is Claire Broome. I think you should
21 be able to unmute yourself.

22 MR. DE: Okay. Actually, this is Dilip De. I
23 have a question. Will the California Energy Commission
24 fund a project of prototyping a new electrical generator
25 that is based on a new novel technology which is outside

1 those that have been considered? Now, for example, in
2 our startup company, scientists and engineers have, you
3 know, invented mostly theoretically, we have all the
4 designs, processes and components, everything sort out
5 and the theoretical foundation laid for a new technology
6 that will clearly give us energy generation, electrical
7 power generation, in any amount that we desire, just
8 utilizing the ambient heat energy of the air. And it'll
9 run in closed cycle continuously. It is completely new
10 and unheard of, but we are sure that if we receive a
11 small funding, we can prototype the generator and show
12 that this novel technology, the first of its kind in the
13 world will work.

14 So, what it does, it draws the energy from the
15 ambient heat of the air at the room temperature, and it
16 converts it to energy at, you know, for electrical
17 power. And also, it is good for-- it will be good for
18 future automotive and transportation. It's a hundred
19 percent clean and it'll cost much less than the
20 conventional solar and the wind energy and the fossil
21 power energy technologies. And we want to show this
22 technology that it'll work. We just need a small
23 funding. I don't know whether-- since it is outside
24 those that are discussed or known, and will the
25 California government be willing to fund such a project?

1 MS. JAVANBAKHT: Thank you Dilip, for your
2 comments. Again, we are trying to keep this panel
3 focused on the Energy Commission's work on the inputs
4 and assumptions for the California Energy Demand
5 Forecast today. If you'd like to integrate this into a
6 public comment on the record, please feel free to do
7 that during the public comment using the Zoom's raise
8 your hand feature, and that will be at the end of the
9 workshop today. And then Claire Broome, were you also
10 trying to ask a question?

11 MS. BROOME: Yes. This is a question. So,
12 for Richard Jensen, what I'm asking is when you have
13 bulk generating resources, for example PV on brownfields
14 or on highway right of ways, I would assume since it
15 will not require transmission, it should be cheaper than
16 PV, which requires transmission. How does your
17 production cost modeling consider such resources? I
18 would note that tracking the sun, the Lawrence National
19 Lab now differentiates PV that is on the distribution
20 grid, but not behind the meter from PV that is utility
21 scale requiring transmission.

22 MR. JENSEN: So, we don't include fixed or
23 capital costs. Our model operates with only variable
24 operation maintenance start cost, fuel costs. So, PV is
25 a free resource in a sense in our model. That should

1 answer your question.

2 Claire, were you still there? Hopefully that
3 does answer her question. And Claire, if you have any--
4 need further clarification on that again
5 Richard.Jensen@energy.ca.gov. Thank you.

6 MS. JAVANBAKHT: Alright, and we have one more
7 question in the Q&A from Joseph Yan. "Richard, do you
8 plan to release the input data for your modeling?"

9 MR. JENSEN: We can provide input data to
10 anyone who has a PLEXOS license via the PLEXOS database.
11 If you need specific input data, we can get that to you
12 as best we can in Excel format. But the plans to
13 release it right now, it's basically on request.

14 MS. JAVANBAKHT: And looks like we don't have
15 any other questions. We will move on to Lynn Marshall's
16 presentation. Lynn Marshall is the Resource Adequacy
17 and Rates Principal in the Energy Assessments Division
18 at the CEC and will be talking about the electricity
19 rate inputs and assumptions.

20 MS. MARSHALL: Thank you. So, our forecasting
21 electricity rates is basically a forecast of revenue
22 requirements divided by a forecast of retail sales. So,
23 we're starting with information provided by the
24 utilities and other LSEs on their resource portfolios,
25 their projected costs, and revenue requirements, and

1 we're combining that with staff assumptions on power
2 prices, fuel prices, and carbon and other escalation
3 assumptions.

4 So that produces revenue requirements forecast
5 by utility. We allocate that to individual sectors, and
6 we divide that by our sales forecast. We're using the
7 CED 2022 mid case forecast escalated out to 2040, and
8 then we combine that and calibrate it to recent historic
9 electricity rates. And that feeds into our various
10 sector models and our load modifier models, probably in
11 particular the self-generation and the transportation
12 demand forecast models.

13 Next slide.

14 So, I'll talk a little bit about recent trends
15 in electricity rates and then move on to some of the
16 forecasting assumptions. So, I'm showing here the TAC
17 area is the same as our PG&E planning area. So, the IOU
18 rates that I'm showing here are the average of bundle
19 customers, CCA customers, and direct access customers.
20 So those LSEs report their energy revenues separately
21 from the UDCs, which report the wires revenues. So,
22 these rates have to be constructed from those different
23 data sources. And then we also have about 20 percent of
24 the publicly owned utilities in that area.

25 So, looking at the PG&E rates, you notice that

1 steep upward trend in recent years. The great bulk of
2 that, although not the only driver, are wildfire related
3 costs. And that includes wildfire liability insurance,
4 catastrophic event recovery, and then expenditures to
5 mitigate wildfire risk, grid hardening, et cetera. So
6 that's been significantly more. PG&E has a general rate
7 case pending that's actually delayed. So, we can expect
8 onward increased approved spending in that next case.

9 Next slide.

10 For the SCE area, we see similar trends. The
11 last rate case-- these last two PG&E and SCE rate cases
12 were the first to fold in the results of the PUCs risk
13 assessment process. So, these are the revenue
14 increases. Those are higher than what we historically
15 would have seen. We have residential rates increasing
16 an average over the-- 15 percent over the last three
17 years.

18 POU's have, in both this and the PG&E area,
19 have stayed relatively stable. If you look at the
20 graphs for 2020, '21-- for 2021 and '22, you see even
21 the POU rates starting to tick up, and they've also been
22 hit by the recent rise in power costs, both energy and
23 capacity costs.

24 Next slide. Yes?

25 VICE CHAIR GUNDA: Lynn, just kind of going

1 back a couple slides just on the way we construct the
2 rates. Right? So, at the end of the day, this exercise
3 is to make sure we have a good correlation between the
4 demand in the past and being able to build into the
5 future. So, when we take the revenue requirements, do
6 we undercut the demand flexibility at all? Like are the
7 TOU impacts? Or is that something that we figure out
8 later? Is it just two separate processes? How do you
9 think about the TOU impacts?

10 MS. MARSHALL: Well, that would be on a
11 forecast basis included in the sales forecast. And then
12 part of constructing the revenue requirements is you're
13 forecasting revenue requirements to meet the demand
14 forecast, and that includes peak and energy. So, to the
15 extent that load flexibility reduces the peak demand,
16 that's going to be reflected in, let's say lower
17 capacity costs. So ideally, we have parallel
18 assumptions in both the demand forecast and the revenue
19 requirements forecast.

20 VICE CHAIR GUNDA: And then between the two
21 complimentary efforts there, we completely account for
22 that? In our models, we have pretty good confidence?

23 MS. MARSHALL: In our forecasting, I think
24 we're being consistent. But I would point out that when
25 utilities set revenue requirements, they take their

1 demand as fixed. So, they would not-- so for example,
2 if you have a large rate increase, an economist would
3 say, well, demand will be lower because prices are
4 higher. They don't do that. You kind of get it into an
5 incremental loop with the rate cases. So, they completely
6 ignore price elasticity. But, you know, you update this
7 every year. But on a forecast basis, we can make sure
8 that projected load shift is accounted for on both the
9 demand and the supply side.

10 VICE CHAIR GUNDA: Great. So, I think the
11 reason why I'm kind of raising this is kind of the same
12 effort on the behind the meter storage. Right? So, I
13 think the evolving paradigm that we are kind of trying
14 to get into the resource planning is, you know, we as a
15 demand forecasting team for the state have a good handle
16 on the consumption forecast and the load modifiers and
17 we are doing a good job there.

18 But then with the demand flexibility, we are
19 kind of thinking about two more elements. One is the
20 resource adequacy planning. But then beyond that, what
21 is available for emergencies if we were to play further
22 incentives beyond rates and capacity payments? And so,
23 I'm kind of just future proofing or thinking forward on
24 our analysis. How do we, one, quantify the opportunity
25 for behind the meter storage, you know, and other

1 electric loads to be able to support extreme events?
2 What's the universe of it and how do we operationalize
3 that? So that's kind of where those questions are
4 coming. So, you know, maybe it's a completely different
5 discussion.

6 MS. MARSHALL: Yeah, well there's a question
7 there of what load flexibility we would include in the
8 forecast? And this comes up in the resource adequacy
9 context to count something against, you know, reduce the
10 RA forecast. It's not just something that's available
11 occasionally on an emergency basis, it's something
12 that's systematically reducing peak load. So, that's
13 that. There's a threshold test there I think we'd want
14 to meet.

15 VICE CHAIR GUNDA: And Lynn, just reminding
16 myself. So, when we have the TOU rates and stuff, the
17 way the utilities develop the rate design is to be net
18 neutral, revenue neutral?

19 MS. MARSHALL: Revenue neutral. Right. So,
20 I'm showing here our forecasting annual average rates to
21 meet the total revenue requirement. Then when you do
22 your rate design, whether it's a new time of use rate,
23 et cetera, you want to make sure that you're going to
24 collect the same amount of revenue. And again, that's
25 what they're going to assume. No price response, which

1 is not right, but it's simplifying the assumption. So,
2 it did that, for example, for cost effectiveness
3 evaluation for load management standards, we take our
4 rate forecast, construct a forecast of TOU hourly
5 prices, but it's assumed that it's going to meet the
6 same revenue target as the annual average forecast.

7 VICE CHAIR GUNDA: Right. So just yes--
8 summarizing this for myself. So, the exercise we go
9 through in developing the rate forecast, the method we
10 use ultimately is used for capturing the total energy,
11 right, that is used and then the impact of this on that.
12 And then to the extent that we are shaping that for the
13 hourly model, that's where the actual rate design comes
14 into place to understand a little bit more on the load
15 modifier. Is that correct?

16 MS. MARSHALL: Yeah. Well, we're not doing
17 typically much rate design.

18 VICE CHAIR GUNDA: Agreed. But the impact of
19 the rate design on the hourly impact of the load is
20 taken into account in a separate step.

21 MS. MARSHALL: Yeah. Right now, we don't
22 really have that kind of effect in our modeling. We did
23 when they were doing the residential time of use
24 rollout, it wasn't baked into the recorded loads. So,
25 we had a forecast of TOU impacts that went into the

1 hourly load model. And so that when we were forecasting
2 revenues requirements, we're using that-- actually the
3 final demand forecast from the last cycle the way we
4 have to start off. But yeah, so then it's the reduced
5 peak demand is accounted for as we're procuring--
6 costing out resources to meet the demand forecast.

7 VICE CHAIR GUNDA: Thank you.

8 COMMISSIONER MONAHAN: Okay, I'm going to
9 bring it down a level than the Vice Chair in terms of
10 his questions. So, I'm struggling with what-- so in our
11 demand forecast, we're getting new data from the
12 utilities about time of use rates that we're going to be
13 incorporating in. And the part that confused me was you
14 said that, well number one, that we're assuming that
15 this is all going to pencil out. Like have a-- in a
16 perfect world, really we would understand, or the
17 utilities would understand when they develop their
18 rates, how this is going to influence consumer behavior,
19 and they would end up with the same income stream, shall
20 we say. That seems hard to swallow.

21 MS. MARSHALL: Yes. Okay. So, this is an
22 issue in some of doing rate design for say a new
23 electrification friendly rates.

24 COMMISSIONER MONAHAN: Mmm hmm.

25 MS. MARSHALL: And it's why that, you know,

1 some parties have been concerned about widespread
2 adoption of, say, something that's very attractive to--
3 say, behind meter storage. So, what they'll do often
4 the PUC will say, okay, let's do this as a pilot basis
5 for a limited number of accounts and then we're going to
6 track the shortfall to see if this rate design is in
7 fact revenue neutral or if it's having, you know, cost
8 shift to other customers. If that's happening, then you
9 want to tweak the rate design going forward before you
10 expand it to a large number of customers.

11 So yes, the concern about cost shift is there
12 from, you know, other parties. So, they take kind of a
13 gradual approach in implementing that type of rate.

14 VICE CHAIR GUNDA: I mean one is the cost
15 shift, but I think-- are you asking if the revenue
16 neutral is not real, that there might be more revenue
17 coming in?

18 COMMISSIONER MONAHAN: Or less.

19 VICE CHAIR GUNDA: Or less, right. And so
20 that's something that they will take into account--

21 MS. MARSHALL: Yeah, so if there's--

22 VICE CHAIR GUNDA: -- with verification too.

23 MS. MARSHALL: If there's less revenue
24 collected, that's got to be paid by somebody because the
25 utility is still going to get it, right? And so, it

1 gets shifted on to other residential customers who maybe
2 can't afford behind the meter storage. And so that's
3 why they'll on a year-to-year basis track the effects of
4 that to, you know, at least limit the extent of the cost
5 shift on a pilot basis because then you want to redesign
6 the rate.

7 COMMISSIONER MONAHAN: And did I hear you
8 also, I definitely could have misinterpreted this, that
9 there's an assumption of inelasticity of demand with
10 price?

11 MS. MARSHALL: Well, on a rate design basis,
12 they don't know. And year to year that's what they take
13 a demand forecast, the take a sales forecast and take it
14 as fixed and don't try to bake into a price response.
15 But of course, you know, you get a year into it, you
16 get, especially if you're doing a pilot rate, you get
17 pilot studies. And then that response, whatever it is,
18 becomes baked into the recorded data and then you're
19 forecasting off of that.

20 COMMISSIONER MONAHAN: And when will we start?
21 I mean, so right now we are using our models to forecast
22 demand, assuming some elasticity of demand with rate.
23 And when will we have data that will give us more input,
24 you know, give us more information about whether the
25 accuracy of this? I mean this has to be something that's

1 iterative. And as you note we're going to learn every
2 year.

3 MS. MARSHALL: Are you talking about like time
4 varying, right?

5 COMMISSIONER MONAHAN: Mmm hmm, yes.

6 MS. MARSHALL: Okay. So, for the residential
7 default, there were lots and lots of pilot studies. It
8 took probably a lot of years longer than we thought we'd
9 roll out, but the benefit of that, it was well studied.
10 So, there were a lot of good data points to benchmark
11 to. And I would say for some of-- and there's new
12 pilots going on. So doing the pilot studies and doing
13 the rigorous load impact studies is really critical for
14 us then to benchmark a forecast to. And, you know,
15 we'll see I guess in a year two, three, what the results
16 of those pilots are. Is it-- you know, are there
17 significant enough results that we want to forecast
18 that?

19 And then of course you also want to forecast
20 will customers actually sign up for this rate? Is the
21 other dimension too, including something in our
22 forecast.

23 VICE CHAIR GUNDA: Yeah, Lynn. But skipping
24 to Commissioner Monahan's Point, currently you do bake
25 in the results of everything that you have, Right? Like

1 the pilots, you try your best. Like I remember like the
2 SMUD studies and stuff that you tried to glean from.

3 MS. MARSHALL: Yes. So far, it's just been
4 the residential time of use was modeled and forecasted
5 out. But we'll be watching the pilots that are going on
6 now to see when and at what point it's appropriate to
7 use those results to forecast.

8 COMMISSIONER MONAHAN: I know this is an issue
9 the US Department of Energy cares a lot about on the
10 transportation electrification side, just really
11 understanding how time of use rates influence customer
12 behavior regarding charging.

13 MS. MARSHALL: Yeah and that's-- we'll talk
14 about that a little bit when we get to that hourly
15 wholesale price forecast. That's something I know our--
16 we're not talking about transportation a lot this year,
17 but they're definitely paying attention to what our
18 price assumptions are in the transportation hourly
19 modeling. What I would say-- so what's important, you
20 know what I learned from some of the pilot studies that
21 are done so far, it's really technology specific.
22 Right? So, if it's EVs, you want studies looking at EV
23 response. If it's heat pumps, you want to understand
24 what their potential is, right? And that's actually--
25 that can be more significant than the particular price

1 design is what technology, what enabling technologies
2 are available.

3 COMMISSIONER MONAHAN: Sounds like we're
4 leapfrogging your presentation a little bit.

5 MS. MARSHALL: Yeah.

6 COMMISSIONER MONAHAN: Okay, we'll stop.

7 MS. MARSHALL: Okay, let's go to San Diego.
8 Okay, and I'll just-- boy, San Diego had a confluence of
9 factors a few years ago. They had a delayed GRC, and
10 that leads to what they call an exaggerated test year
11 bump. They had, I think an error procurement cost
12 triggers, some balancing account shortfalls, a
13 combination of transmission cost increase. So, they
14 have really had the largest rate increase.

15 And then in the residential sector, they have
16 the largest proportion of residential behind the meter,
17 so that really exacerbates the cost shift from them. So
18 that might get mitigated going forward a bit. Okay, so
19 now we'll move on to the procurement-- revenue
20 procurement side of things.

21 Next slide.

22 Oh, I forgot. SMUD, our two largest publicly
23 owned utilities, not to leave them out, SMUD and LADWP.
24 So, the increases on here from LADWP represent their
25 last five-year rate actions. Since then, they have some

1 kind of automatic cost adjustments to allow them to meet
2 revenue targets. They have not yet announced a rate
3 action plan to meet the LA 100 policy that they've
4 adopted. But when they do that, we would expect at
5 least similar growth rate going forward.

6 SMUD, as it usually does, chugging along at
7 around three to four percent there. Although they did
8 recently propose a little over five percent rate
9 increases for 24 and 25, and that's both to meet their
10 decarbonization plan, and also responding to the higher
11 power costs, higher inflation, higher interest rate
12 environment. A lot of POU's are in that position as
13 well.

14 So, next slide.

15 Okay. So, to forecast the total procurement
16 revenue requirements, we're starting with information
17 provided by the utilities, the larger and any public
18 utility CCAs or ESPs that are over 200 megawatts a year.
19 So, for their long-term contracts and their utility
20 owned resources for things like hydro and renewables,
21 we're taking those costs as given. And then market
22 purchases are valued using the staff energy and capacity
23 price. And then if there's a residual net short need to
24 meet the total demand forecast, we're also going to use
25 the staff energy and capacity prices to value that.

1 For renewable resources, use the NREL annual
2 technology baseline levelized cost, and you know in the
3 past that's just been incremental wind and solar to meet
4 policy targets. And this year it'd be looking up the
5 cost of the offshore wind as well.

6 So, one of the key inputs to all of this is
7 the-- next slide, please.

8 Our wholesale price of energy. So, this comes
9 out of the PLEXOS model that Richard was just
10 describing. So, they do produce 8760 for each-- prices
11 for each balancing authority, and then within CAISO for
12 each tack. What I'm showing here is the average annual
13 price at the CAISO level. And for comparison there I
14 have the CAISO's actual reported average annual
15 wholesale cost, so comparable value there.

16 And you'll notice, yes, there's a big
17 discrepancy there between the '22 actual and our
18 starting point of our forecast. And that of course is
19 the extremely high gas prices at the-- in 2022. The
20 CAISO Department of Market Monitoring estimates though
21 that if you normalize the natural gas prices back to
22 2018 levels, we would've had average prices in 2022 of
23 about \$45. So that's about \$5 less than our starting
24 point. So, it looks a little more reasonable in that
25 light.

1 So forecast has real prices increasing about 3
2 percent a year higher than the series I was using for
3 last year's forecast, which we didn't have our own
4 PLEXOS results at that time. So, I was using our burner
5 tip price, which is similar to the one we're using now,
6 but a heat rate curve from some modeling at the PUC,
7 we're using an earlier vintage of CEC demand forecast.
8 So that heat rate curve was improving, things were
9 getting more efficient over time. But now with a higher
10 load forecast, we have more less efficient higher cost
11 units running. So that's pushing prices up over time.

12 And if we go to the next slide, we can see
13 what's going on a little better at the hourly level.
14 So, this is a snapshot of the annual peak demand, which
15 is in September over time. And you can see while the
16 midday and even the morning prices are not increasing
17 nearly as much, it's the afternoon peak hours where
18 costs are really, really increasing. So, when utilities
19 are doing rate design, periodically they will do a look
20 ahead at power costs and look at it at an hourly level
21 to evaluate whether they need to change their rate
22 design.

23 For example, should the time of use periods
24 change? So, this is something we want to pay attention
25 to because we don't want to have a mismatch between our

1 load modeling as we're adding EVs and building
2 decarbonization, and what our time of use assumptions
3 versus what that's doing to the system load shape.

4 So, in this snapshot, and here we're only
5 going to 2035, it doesn't look like the hours of the
6 peak period are really changing, but the peak to off
7 peak ratio is dramatically increasing, right? Which
8 suggests increased value to load shift and, you know, a
9 steeper price differential on some of those rate
10 designs. But this is something we'll want to pay
11 attention to once we get this forecast done, and the
12 PLEXOS team can run a forecast for 2040. We'll kind
13 want to keep evaluating this to see if we want to change
14 the time of use assumptions in our EV model, for
15 example.

16 So, next slide.

17 The other price series we need to forecast is
18 capacity costs. And as this table shows, they have
19 really maybe not quite doubled, but pretty close. These
20 are data compiled by the PUC on actual RA market
21 transactions. So, what I'm proposing for this forecast
22 is to hold that 2023 value constant in real terms. And
23 even though these are historically high capacity prices
24 and we're bringing more resources online in California,
25 we also have the Western Resource Adequacy Program

1 coming into play. So, it suggests we're going to
2 continue to have really tight capacity conditions and a
3 lot of demand for available capacity.

4 Okay, next slide.

5 The last part of the procurement cost you want
6 to talk about—yes?

7 VICE CHAIR GUNDA: Sorry, this might be just
8 outside the scope of this presentation. But for RA
9 resources, imports, how much of the resource imports are
10 usually coming on from transmission? Do we know? Have
11 a sense?

12 MS. MARSHALL: I don't know. My recollection
13 is for having firm transition as important a part of
14 being RA capacity, but I don't know that percentage.

15 VICE CHAIR GUNDA: Okay, thanks.

16 MS. MARSHALL: We could look into that. So,
17 the last price I want to talk about is the price for our
18 GHG allowances under the cap-and-trade program. So
19 electric generation, gas fire generation is covered by
20 our carb cap and trade program. So as Richard
21 mentioned, when they're modeling electric generation in
22 California, they're including that as part of the cost.
23 Our price forecast for this is also used by production
24 cost modelers throughout the WECC.

25 We've had this same program structure in place

1 since 2013 with gradually declining allowances. And
2 then there is a price containment reserve so that as
3 prices hit a certain level, then more allowances become
4 available. So, CARB has been all clear through the
5 scoping plan that they would be revisiting cap and trade
6 to make it quote unquote do more. And just last month
7 they began-- they started a pre-rulemaking process to
8 implement that. They don't have a specific proposal
9 yet, but what they were very clear on is they'll be
10 reducing the supply of allowances from 2025 to 2030. So
11 that will have a pretty immediate impact. They're not
12 really looking to restructure the larger program at this
13 time because they're expecting some legislative
14 direction on what it ought to look like post 2030. So
15 ultimately, they'll be doing an impact evaluation that
16 then we can use in building a forecast. We don't have
17 that yet. Let's go to the next slide.

18 What we have seen is, since they initiated
19 this process, is the prices on the commodity markets,
20 like if they're traded on ice, have bumped up noticeably
21 about \$5. So now those commodity markets, those are
22 mostly private investors. They're not the compliance
23 entities who buy most of their-- do both of their buying
24 and selling on the auction, but there's an auction
25 tomorrow. So very helpful.

1 And I typically do two forecasts a year, so
2 preliminary in August and then a final in January. So,
3 what I'm proposing to do is for the preliminary is just
4 benchmark the starting point of this forecast to
5 whatever we see as current prices, and we'll take into
6 account the auction results tomorrow. And I'm
7 accelerating the price forecast to reach the Tier 1
8 price containment reserve in 2030 instead of 2035. And
9 when it hits that tier price, then as it approaches it,
10 CARB will make more allowances available. So, it's a
11 natural kind of slowing point for price increases. And
12 then we'll monitor the CARB proceeding and as more
13 proposals or analysis comes out of that, then we'll
14 update that, do a probably more extensive update at some
15 point.

16 Okay, so that's the end of the procurement
17 cost side. I have one more slide. Next slide. I
18 think? Yes.

19 And I'm giving kind of short shrift to the
20 other revenue requirements, which are over 50 percent.
21 We're receiving projected recent and projected revenue
22 requirements from the IOUs, public utilities, many CCAs.
23 And using that data, we evaluate what their escalation
24 assumptions are. But the most important component,
25 particularly for this cycle is that all three IOUs have

1 pending rate cases with really significant proposed
2 results. If those were adopted in full as the IOUs
3 proposed them, we'd see again, more 10 percent annual
4 rate increases for PG&E and San Diego, SCE's might be a
5 little less.

6 So, we don't want to include that in the
7 forecast because they never get the full ask, right?
8 So, what we'll do is look at the party positions, office
9 of public advocates, TURN, maybe we'll have their
10 recommendations, and construct sort of a mid-case
11 between the full request and, you know, where the
12 parties are and taking into account some of the recent
13 trends in GRC decisions to try to get something close to
14 an expected outcome.

15 And that's my last slide. We do expect to
16 present the rate forecast actual results at a DAWG in
17 September.

18 VICE CHAIR GUNDA: Lynn, just on the
19 distribution side, the report that PUC put out with, I
20 think, Kevala?

21 MS. MARSHALL: Yes.

22 VICE CHAIR GUNDA: Is that-- what do you
23 anticipate?

24 MS. MARSHALL: Well, okay, so in the past I've
25 tried to use marginal costs to estimate an incremental

1 cost of all supporting increased low growth. It's
2 probably underestimating those costs and it's not really
3 applicable to with adding all of these EVs. So the
4 Kevala study I think at this point is not because it's
5 not really aligned with our demand forecast. So, I
6 don't think there's results there I can use yet. Also
7 the public advocates did release kind of a summary of
8 something they're working on that's more aligned with
9 our forecast, and they indicated results would be
10 available in August. If they release that in August and
11 they put it in the, let's see there's a load flexibility
12 docket, and parties can comment it. That may be
13 something I could use as an increment to the
14 distribution revenue requirements. So, I'll be looking
15 for that.

16 VICE CHAIR GUNDA: Lynn, just kind of -- this
17 is more of an educational question. Like what's the
18 elasticity that you actually see with prices and demand?
19 Is it really there? I mean, is it like significant? I
20 mean, I'm just kind of thinking through, right? So,
21 moving forward, just from a policy standpoint, we are
22 kind of planning for a reliable, affordable system and
23 clean system, and we are electrifying a lot of load.

24 Are we going to be in a situation where the
25 energy costs are going to just increase because there is

1 some minimum level of energy people have to use for
2 their basic needs? Or there's a lot of cushion? You
3 know, I mean, I just feel like we are pushing on all
4 fronts. And we are thinking from your of view, how do
5 you see this playing out?

6 MS. MARSHALL: Well, the loads that we're
7 adding, EVs, are probably the most flexible load. So,
8 you're right, there are a lot of customers, low usage
9 customers who have very little they can do, right? But
10 that's not where the load growth is. Right? It's EVs
11 which have a lot of load shift potential.

12 And it'd be very interesting to see what
13 happens with the heat pump studies, because it does seem
14 like that's another one where you have a lot of load
15 shift potential. And what really will matter there is
16 enabling technology so you can automate it. Right?
17 That will be key so that people aren't, you're not
18 expecting people to take that action themselves.

19 COMMISSIONER MONAHAN: I mean that actually is
20 a really good, I think, observation, is that it's those
21 enabling technologies that are really going to unlock
22 this potential for shift of demand. And without them,
23 if you're relying on individual consumers to make
24 individual decisions, that's a tough sell.

25 VICE CHAIR GUNDA: Like the smart thermostat

1 experiment. I'm not sure how many smart thermostats
2 actually work, but. One is automation and then how do
3 we comply and keep them actually--

4 COMMISSIONER MONAHAN: Right, I mean it's the
5 engagement with the automakers, honestly. I think it's
6 that it's not just this device that you purchase, but
7 it's that integration with the vehicle where the vehicle
8 is saying, if you want to save money, do this.

9 VICE CHAIR GUNDA: And continuously kind of
10 monitored to make sure it's adjusting that, right? And
11 we're not opting out or doing something else.

12 Thank you so much. This is so informative. I
13 mean personally, every time I hear you speak, Lynn, I
14 learn something new and I try to ask 10 questions
15 because I'm just, oh, the sparks are finally going off
16 in my head. So, thank you so much. Yeah.

17 COMMISSIONER MONAHAN: And can I too, Lynn,
18 this is great. But just this idea of, I feel like the
19 more transparent we can be in the IEPR about-- and maybe
20 in appendices, I'm not sure we want to keep the report a
21 manageable size. But you know how-- what assumptions
22 we're using around the flexibility of demand and where
23 we're trying to get more information. And I just feel
24 like that is, so much of our work going forward is
25 optimizing that. And we're, you know, I wouldn't say

1 we're early, we're in the middle of it. But just being
2 transparent about what we know and what we don't know.
3 I think it's really helpful.

4 MS. MARSHALL: Actually, the electrification
5 staff, Ingrid's team, she's having regular meetings with
6 PUC to talk about what's happening with like some of the
7 pilot studies and what we need to do to be thinking
8 ahead to incorporate it in the forecast.

9 COMMISSIONER MONAHAN: I think that's it for
10 me. Vice Chair? Alright, I'll pass it back to Heidi.

11 MS. JAVANBAKHT: And we don't have any
12 questions online. Are there any questions in the room?
13 No questions. So, Stephanie, we can move on to the
14 public comment period.

15 MS. BAILEY: Hello again. Okay, so just a
16 quick reminder. We do welcome written comments after
17 the workshop by close of day on September 1st. And for
18 instructions on how to provide written comments, please
19 see the notice for this workshop, which is posted on the
20 CEC's website. So now it's time to turn to public
21 comments. One person per organization may comment, and
22 comments are limited to three minutes per speaker.
23 We'll start with those participating in person and I
24 will turn it over to Heidi to see if we have any
25 commenters on her end.

1 MS. JAVANBAKHT: Yes, we do have one person in
2 the room.

3 MR. MCCRAE: Thanks. Good afternoon. My name
4 is Tim McCrae. I'm the Senior Vice President for
5 Sustainable Growth at the Silicon Valley Leadership
6 Group, and SBLG represents hundreds of the most
7 respected employers in Silicon Valley. SBLG notes that
8 energy demand is already forecast to significantly
9 increase as we meet California's electrified
10 transportation and building decarbonization goals.
11 However, we believe that projected energy demand is
12 actually under forecast.

13 We recognize that demand forecasting has been
14 modified to include building and fleet electrification.
15 However, data center demand, which is another primary
16 driver of load growth, has not been included in the
17 revision to demand forecasting in the way that we
18 suggest. I'll get to how we suggest that.

19 Under forecasting demand means that we under
20 forecast the need to add infrastructure as well. The
21 delay in forecasting because of the need for
22 infrastructure and additions as a result of the under
23 forecast in demand is particularly concerning because of
24 the incredible lead time it takes to construct new
25 facilities like transmission. Without adequate

1 transmission to deliver energy to load growth centers
2 from the areas where it's generated means that we have
3 islands of scarcity within California that come with
4 reliability and pricing escalation concerns.

5 The CEC includes projected load for data
6 centers that have signed agreements with their local
7 utility. However, there are many planned data centers
8 that are prior to this stage that the state has no
9 record of expecting, and these loads anticipate being
10 fully served within the next five years, two to three
11 times as fast as the planning life cycle of additional
12 transmission.

13 While data centers are one example, further
14 economic development will increase electricity demand at
15 a greater rate than it has in the past due to building
16 electrification policies and transition to more high-
17 tech energy incentive technologies. Therefore, we
18 recommend that the Energy Commission complete a study to
19 evaluate the state's future and economic development and
20 electricity demand to inform future consumer energy
21 demand forecasts. I asked some questions about
22 geographic specificity, and we think that in particular
23 in Silicon Valley, there's going to be a lot more data
24 centers and that was where the thrust of those questions
25 were coming from.

1 SBLG has supported the state's move to zero
2 carbon generation goals. Broadly speaking, California
3 will require significantly more generation and
4 transmission to make zero carbon goals a reality to
5 serve the state's climate and economic competitiveness
6 goals. We ask to improve your consumer energy demand
7 forecasting in these ways. Thank you.

8 COMMISSIONER MONAHAN: Tim, have you submitted
9 that in writing already to the docket?

10 MR. MCRAE: I have not, but I'd be happy to do
11 so.

12 COMMISSIONER MONAHAN: Yeah, that'd be great.

13 MS. JAVANBAKHT: And Stephanie, that's all for
14 the in-person comments.

15 MS. BAILEY: Great, thank you so much, Heidi.
16 So, we're going to go ahead and move on to those that
17 are participating remotely. So, if you're using the
18 online Zoom platform, you can use the raise-hand feature
19 to let us know that you'd like to comment and we will
20 call on you and open your line to make comments. For
21 those on the phone, you can dial star-nine to raise your
22 hand and star-six to mute or unmute your phone line or
23 we can unmute you from our end.

24 Okay, so I see two raised hands right now.
25 Claire Broome, you should be able to speak. If you

1 unmute on your end, you can go ahead and begin.

2 MS. BROOME: Thanks. Can you hear me?

3 MS. BAILEY: Yes. And actually, Claire, do
4 you mind spelling your name and any affiliation for the
5 record? Thank you.

6 MS. BROOME: Sure. Claire, C-L-A-I-R-E,
7 Broome, B-R-O-O-M-E, And I'm commenting on behalf of 350
8 Bay Area. We are an environmental organization with a
9 reach of 22,000 members, and we also comment from a rate
10 payer perspective. So, thank you very much for a very
11 informative afternoon, and I understand what you're
12 trying to do is really complicated. However, I was
13 quite distressed by the inability to consider solar
14 resources on the distribution grid as we saw in my
15 exchange with Richard Jensen.

16 So, Lynn Marshall showed us that electricity
17 rates by the IOUs are skyrocketing. Yes, wildfire
18 mitigation is part of that, but the white paper from the
19 CPUC, and maybe the Energy Commission a couple of years
20 ago, showed that the major contributors are transmission
21 spending, distribution infrastructure spending, and
22 wildfire mitigation. And they project that those are
23 the major drivers for accelerating electricity rates.

24 That's why 350 Bay Area strongly urges in this
25 IEPR that the Energy Commission differentiate between PV

1 generation and storage on the distribution grid from PV
2 generation and storage that requires transmission. That
3 energy for the same megawatt of capacity is at least
4 three to seven cents per kilowatt hour cheaper when it's
5 available on the distribution grid close to the load.
6 I'm talking about in front of the meter wholesale, I'm
7 not talking about behind the meter. As I mentioned in
8 my question, the Lawrence National Laboratory now
9 differentiates distribution grid PV from utility scale
10 requiring transmission. And I would urge the Energy
11 Commission to do the same.

12 So, the other reason that that's really
13 important is it also promotes resiliency. For your SB
14 100, you anticipate the need for a tripling of
15 photovoltaic capacity to meet California's goals. And I
16 would urge you that a large part of that solar could be
17 on the distribution grid on brownfields, on highway
18 right of ways, and that that will save ratepayers money
19 as well as saving our environment. It is wonderful to
20 hear Vice Chair Gunda and Commissioner Monahan looking
21 at load flexibility. That's also an essential part of
22 this. Thank you so much for what you're doing.

23 MS. BAILEY: Okay, thank you Claire. I do see
24 one more hand. Mark Roest, I'm going to unmute your
25 line and you can unmute on your end. And again, please

1 state your name and spell your name and affiliation for
2 the record. Thank you.

3 MR. ROEST: Hello, my name is Mark Roest, R-O-
4 E-S-T. I am Director of Marketing and International
5 Development with Sustainable Energy Inc. And we are a
6 ceramic semiconductor, fired ceramic semiconductor
7 technology startup with breakthroughs in solar, wind,
8 batteries, neodymium replacements, wheel motors and
9 things like that. All based on that same technology.

10 Building on what Claire was just saying, the
11 the way to block or reduce the requirement for, undo the
12 need for, those increases in rates from PG&E and the
13 transmission grid and even on the distribution grid is
14 behind the meter distributed generation and storage.
15 And that is going to be much less costly than it is
16 today, relatively within a year or two.

17 And it's also going to be more effective. So
18 solar instead of 18 to 23 percent efficiency will
19 probably reach 40 to 50 percent efficiency or more in
20 the next year or two, and that's reaching production
21 without the supply chain costs, without the production
22 costs, you know, far lower cost.

23 Battery storage is headed for three to five
24 kilowatt hours per kilogram instead of today's half a
25 kilowatt hour per kilogram. And also, both of them

1 using simple raw materials, no supply chain choke
2 points, and much lower costs of production factories.

3 So, with those and with putting up canopies
4 over both parking and driveways to augment rooftop solar
5 to be able to cover the needs of both buildings and all
6 the vehicles associated with them, will make it possible
7 for PG&E to actually be just a service organization
8 maintaining balance in the grid rather than the supplier
9 of choice.

10 And so, PG&E won't need the transmission if
11 the load goes away because the public switches to self-
12 use of its own owned solar battery energy management
13 systems, which will then be paid for from the savings
14 with financing. And then will reduce the cost of living
15 for those people and the cost of doing business for
16 those people who have them, and free up money for other
17 uses in the economy. I think that's it. If you have
18 any questions or-- I would like to discuss all this
19 further in depth offline.

20 MS. BAILEY: Great. Thank you so much, Mark.
21 Seeing no other raised hands, I guess that will conclude
22 comments for us today. And one last reminder that
23 written comments are due by close of business on
24 September 1st. And with that I will turn it back over
25 to Commissioner Monahan for any closing remarks.

1 VICE CHAIR GUNDA: I just wanted to comment on
2 a couple things. So, to-- I think to that forecasting
3 group, what Tim just mentioned, right, from Silicon
4 Valley group on being able to think about the data
5 center growth. I mean, I know we've been making a lot
6 of improvements there, connecting directly with, I
7 think, Silicon Valley Energy. I'm forgetting which one
8 it's.

9 But the other element I just wanted to kind of
10 flag is how do we think about port electrification?
11 Like large scale port electrification? That's something
12 that is a pretty huge push right now out there. It may
13 suddenly manifest you know, year after year.

14 And the second one is the ag. Ag
15 electrification, especially with the, I think Heidi, you
16 and I communicated on the ag front, we had a number of
17 ag consumer associations reaching out about some of the
18 CARB requirements and the electrification requirements.
19 So, wanted to just kind of think through what the ag
20 consumer groups were saying was very similar to what Tim
21 just mentioned, which is they're having struggle with
22 forecasting themselves what their electrification
23 pathway is.

24 And in discussions with the utilities, the
25 utilities are requesting that they come up with that.

1 And so, it'll be helpful for us to maybe facilitate a
2 conversation and think about, you know, how does that
3 affect future electric load growth just on those two
4 sectors. Thanks. Wonderful presentations today. Thank
5 you.

6 COMMISSIONER MONAHAN: Yeah, just building on
7 that comment, my advisor, Ben Wender, who's here today,
8 and I have been really intrigued by the forecast in
9 terms of the peak demand and how much it has shifted
10 over the past five years. I mean, it's pretty
11 transformational. It's not just transportation
12 electrification as I have learned, but you know other
13 components too about why we are expecting peak load to
14 be increased.

15 And as we consider what the possibility of
16 port electrification is, I mean they do have really
17 ambitious plans. It's not the same as a CARB
18 regulation, but CARB is passing regulations on them as
19 well. And they're-- you know, we're going to have to
20 struggle with some of the issues of is this going to be
21 a battery? Is this going to be electric vehicle? Is it
22 going to be a plugin? Is it going to be hydrogen? What
23 is it going to be? But we see this trend writ large
24 that zero emission is the future of at least
25 transportation.

1 And this is a global transition that's
2 happening. It's not just California. So how do we
3 build in our forecast to be, I dunno if the word is more
4 ambitious, but just recognize this trend is happening.
5 So how do we make sure we're planning for it
6 appropriately?

7 And it's challenging and exciting and, you
8 know, to think about communities that are not burdened
9 by diesel pollution, that have clean air, look up and
10 see blue sky. I mean that's a huge motivator for why
11 this transition is happening. And you all are at the
12 center of a lot of this work to make sure that we're
13 ready for the electrification that's going to happen.
14 We know it's going to happen. How much I think is the
15 question.

16 So, I really like what the Vice Chair said
17 about thinking-- and not this year maybe, but maybe just
18 sort of putting a placeholder in that port
19 electrification as the nearer term opportunity, I think
20 ag electrification is definitely on the horizon as well,
21 but that will be more economically driven decision-
22 making, versus regulatory and community-based pressure
23 on ports to get cleaner.

24 So that's just the exciting transitions that
25 are happening in this world of forecasting that you guys

1 are in the middle of. So, thank you for these really
2 helpful presentations and for educating me, the newbie
3 in this world. And I also want to thank the IEPR team.
4 Heather Raitt wasn't here today and you guys did a bang
5 up job. I think Stephanie on the phone. We had Denise
6 and Raquel and the whole team, just making sure that
7 this went smoothly, and our IT folks as well, despite
8 the fact that we're in a tiny hot room. I dunno if
9 anybody else is really hot, but I am. Maybe next time
10 we could get a fan. But I just really appreciate
11 everybody's work on this. And I think the Vice Chair
12 has one more thing to say. What a surprise.

13 VICE CHAIR GUNDA: I know, I just wanted to
14 have the last word.

15 (Laughter)

16 I think that what you just said though, in
17 terms of the electrification load, I think for
18 transportation, you know, we are beginning to have that
19 scoping plan scenario baked into the transportation
20 electrification. I think the one challenge we will have
21 as a forecasting team, which I think you're beginning to
22 solve for, is how do we both be reasonable to occur, but
23 then kind of help with long lead time delays? Right.

24 So, the biggest issue we have on, I think, in
25 the forecasting is once we begin to see an

1 electrification take off, and then if we wait too late
2 to basically bake that in once, you know, to have some
3 historical information, we might not have enough time to
4 react on the procurement side and interconnections. I
5 think that's the dilemma. I think same thing that the
6 utilities have raised with us on substation upgrades and
7 such. So, I think it'll be really helpful, especially
8 with the ports, because it's going to be such a huge
9 load suddenly in load pockets, you know, how to kind of,
10 pre-plan those big uptakes. But you can have the last
11 word. I'll stop there.

12 COMMISSIONER MONAHAN: Well, I just want to
13 say this meeting is adjourned just to have the last
14 word. Or maybe I'm not allowed to say that. I can?
15 All right. I'm saying it. We are adjourned.

16

17 (Whereupon the meeting was adjourned at 3:43
18 p.m.)

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of October, 2023.



MARTHA L. NELSON,

CERT**367

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of October, 2023.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520