

DOCKETED	
Docket Number:	23-IEPR-03
Project Title:	Electricity and Gas Demand Forecast
TN #:	253847
Document Title:	Transcript of 12-6-23 for IEPR Commissioner Workshop on the California Energy Demand Forecast Results
Description:	N/A
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	1/10/2024 8:38:26 AM
Docketed Date:	1/10/2024

STATE OF CALIFORNIA

CALIFORNIA ENERGY COMMISSION

In the matter of,)	Docket No. 23-IEPR-03
)	
2023 Integrated Energy)	
Policy Report)	re: Energy Demand
_____)	Forecast Results

IEPR Commissioner Workshop on the California Energy Demand Forecast Results

REMOVE VIA ZOOM

WEDNESDAY, DECEMBER 6, 2023

1:00 P.M.

Reported By:
Elise Hicks

APPEARANCES

CEC Commissioners

Patricia Monahan, Commissioner
Siva Gunda, Vice Chair
David Hochschild, CEC Chair
Andrew McAllister, Commissioner
Naomi Gallardo, Commissioner

California Public Utilities Commission Commissioners

Alice Reynolds, President
Karen Douglas, Commissioner
Commissioner Shiroma, Commissioner
Darcie Houck, Commissioner

CEC Staff

Heidi Javanbakht
Heather Raitt
Chris Kavalec
Jeremy Smith
Ingrid Neumann
Quentin Gee
Alex Lonsdale
Mark Palmere
Stephanie Bailey

Public Comment

Claire Broome, 350 Bay Area
Matt Vespa, Earth Justice

INDEX

	Page
1. Introduction	4
2. Opening Remarks	4
Vice Chair, Siva Gunda, CEC	
President Alice Reynolds, CPUC	
Commissioner Douglas, CPUC	
Commissioner Houck, CPUC	
Commissioner Shiroma, CPUC	
3. 2023 IEPR Forecast Inputs and Assumptions,	14
Heidi Javanbakht, Demand Analysis Branch, CEC	
4. Annual Electricity and Gas Demand Forecasts	36
Chris Kavalec, CEC	
5. Remarks/Comments from the Dais	53
6. Q&A from attendees to panelists	61
7. Public Comments	74
9. Closing Remarks and Adjourn	81
Reporter's Certificate	82
Transcriber's Certificate	83

P R O C E E D I N G S

1
2 December 6, 2023 1:00 P.M.

3 MS. RAITT: Good afternoon, folks. We'll just
4 give a minute for people to log on.

5 All right, well good afternoon and welcome to
6 today's Commissioner Workshop on the California Energy
7 Demand Forecast results. I'm Heather Raitt, the director
8 for the Integrated Energy Policy Report or the IEPR for
9 short here at the Energy Commission. And this is a
10 workshop that's being held part of the Energy
11 Commission's 2023 IEPR proceeding. And this is a remote
12 only workshop. We're using Zoom. It is being recorded
13 and a recording will be linked to the Energy
14 Commission's website shortly after the workshop. And
15 we'll also have a written transcript available to follow
16 in about a month or so. We also have the schedule for
17 today and the slide decks docketed and posted on the
18 Energy Commission's IEPR webpage. If you'd like to see
19 those there. We'll have some opportunity or an
20 opportunity for attendees to ask questions of
21 presenters. After Chris's presentation, we'll reserve a
22 few minutes to take some questions.

23 If you wanted to submit a question, just go
24 into the Q and A feature on the Zoom platform. You can
25 click on that and you can type in your question. And if

1 you see one like your question that's already been
2 submitted by somebody else, you can just click on it
3 with a thumbs up to upvote it and then questions with up
4 votes will get moved to the top of the queue. And then,
5 alternatively, we have an opportunity for comments at
6 the end of the day and those will be limited to three
7 minutes per person. And we ask that only one person per
8 organization make public comments.

9 And just a note that we do not respond to
10 questions during public comments, but we welcome your
11 thoughts and input. And, finally, written comments are
12 welcome and they are due on December 20th. So with that,
13 I will turn it over to Vice Chair Gunda for opening
14 remarks. Thank you.

15 VICE CHAIR GUNDA: Thank you, Heather, to you
16 and the entire IEPR team for hosting this workshop. I
17 want to just begin by welcoming Commissioner Douglas,
18 Commissioner Shiroma, Commissioner Houck and President
19 Reynolds from CPUC who are joining us today, and will be
20 providing some opening comments as well. Before I pass
21 it on to them, just want to elevate gratitude to all the
22 staff who work on the demand forecasting as one of the
23 core functions of CEC is the analytical work and the
24 planning assumptions that we develop and demand
25 forecasting is one of the most important one of those.

1 So I just want to thank the staff for the diligent work
2 they always do in making sure the analytical work is
3 well vetted with stakeholders and our partner agencies,
4 both PUC as well as CAISO to really kind of go through
5 the rigor of the necessary improvements as they bring to
6 the table.

7 So a couple of things I want to note in terms
8 of personnel changes, much of the work on the forecast
9 is done through the Energy Assessments Division, which
10 is led by Aleecia. So I want to just thank her on behalf
11 of all and all EAD through her. But I also want to just
12 invite and say welcome to Jeremy Smith who just joined
13 as the Deputy under Aleecia and would be focusing on the
14 demand forecasting scenarios and data work. So welcome
15 Jeremy joining the agency and stewarding this work
16 moving forward.

17 I also want to just remind a couple of core
18 policy and analytical initiatives that CEC has started
19 incorporating over the last two to three years. So one
20 of them is to just make sure the forecast gives us not
21 only a point set that is used for IRP and other
22 processes that the forecast flows into, but really gives
23 us a scenario, kind of a lens on understanding what
24 different demand forecasts could look like under
25 different variations with the eye on really helping the

1 leadership and regulators and the stakeholders to
2 understand what are different levers are as we move
3 forward in this climate trajectory over the next 10 to
4 15 years, which we see as critical.

5 The forecast also has incorporated higher
6 levels of electrification to ensure that the
7 electrification is well laid into the planning so that
8 we have the opportunity to plan for long lead time
9 resources. So we've made those decisions in conjunction
10 with PUC leadership and staff and CAISO. It's really
11 important for us to really think about how can the
12 forecast both address and help us plan for the future of
13 high electrification, but also allows us opportunities
14 to pull on some policy questions we might have. So I
15 just want to thank staff for their continued work in
16 incorporating all those elements. And with that, I would
17 like to request President Reynolds to -

18 PRESIDENT REYNOLDS: Great, thank you very
19 much, Vice Chair Gunda. And thank you for including us
20 here in this workshop today.

21 As you can see, there's great interest from
22 the PUC. We have four commissioners here and we're all
23 looking forward to hearing more at this workshop. And I
24 also want to thank the CEC staff for all of the work to
25 develop the demand forecast. I know that's a huge

1 undertaking and it's really only possible with a great
2 degree of dedication and commitment. So I really
3 appreciate that. And I also appreciate the work of CEC
4 staff to work so closely and cooperatively with the PUC
5 staff. I know that that engagement has been taking place
6 and I wanted to recognize it and express my appreciation
7 as well as our partners at CAISO who are also involved
8 in these joint agency efforts.

9 Just a few remarks to reflect on the fact that
10 accurate forecasting a future energy demand is really
11 critical. It's something we know, but we're recognizing
12 that we have to be both accurate and aspirational. And I
13 think you noted that and hinted at it in your comments,
14 Vice Chair Gunda, that really what we're trying to
15 forecast in a way that is actionable. So our processes
16 rely on this forecast, but we also need to be - to
17 recognize the aspirations that California has and make
18 sure that we're assuming a high enough level of
19 electrification that allows us to move forward and be
20 supportive of that work. But also we're not sure exactly
21 what the future is going to hold. And so forecasting, I
22 think in California I think is harder now compared to
23 any other time in our state's history.

24 And this is true because both of our really
25 strong and our commitment to a future, to an electrified

1 future and one that is less reliant on our natural gas
2 resources, but also because of the uncertainty of
3 climate change and its impacts on the weather events
4 that affect our electricity demand as well as gas demand
5 and just all of that uncertainty makes this process even
6 more difficult. So I appreciate all the thought that has
7 gone into this.

8 The electricity and gas demand forecast do
9 serve as very important inputs into PUC processes and
10 proceedings including IRP, which was mentioned,
11 distribution resource planning and resource adequacy
12 proceedings. So I'm really excited about today's
13 presentation and about the statewide electricity,
14 electricity, and gas forecast results. Looking forward
15 to learning more about the updates that CEC has
16 implemented this year and new modeling capabilities and
17 incorporation of climate data. So really lots of
18 important and exciting work here. Thanks again to
19 everybody who has done the work that brought us here
20 today. I'm really looking forward to it.

21 Back to you Vice Chair.

22 VICE CHAIR GUNDA: Thank you, President
23 Reynolds. I just want to elevate an important point you
24 mentioned about the uncertainty in this next 10 to 15
25 years as we look at rapid electrification and plan for

1 it, we also need to be very careful about how we plan
2 for both the gas system and we are seeing that on the
3 petroleum side as well.

4 So it's really important to kind of make sure
5 we cover all uncertainties as we develop our planning
6 assumptions on both sides of the issue.

7 So thank you for uplifting that. And with that
8 I'm go to Commissioner Houck.

9 COMMISSIONER HOUCK: Thank you, Vice Chair
10 Gunda, and thank you to the CEC staff that put the
11 workshop together and that are doing all of this really
12 critical work on the forecasting. I want to thank Vice
13 Chair Gunda, Commissioner Monahan and all of the CEC for
14 their leadership on this important component of the 2023
15 IEPR as well as my fellow Commissioners, President
16 Reynolds for their close coordination. I think we are
17 all looking at the CEC forecasting and different
18 components of the work that we're doing at the PUC. And
19 this is, I can't underscore the importance and how
20 critical the CEC's forecasting is, the IEPR is the
21 foundation for statewide energy system forecasting and
22 planning in California and for the broader electric
23 system planning inputs from the CEC's demand forecast
24 are incorporated into the PUC's Integrated Resource Plan
25 as President Reynolds mentioned for all load serving

1 entities and then they feed back into the Cal ISO
2 transmission planning process.

3 So all three of our agencies need to be
4 closely coordinating and the forecasting here is the
5 foundation for a lot of the work that we're doing.
6 California's electricity system is as undergoing a
7 significant transformation on the pathway to reaching
8 our SB 100 goals and with high penetrations of
9 renewables, electrification of buildings and
10 transportation and deployment of behind the meter
11 Distributed Energy Resources or DERs. It's even more
12 critical that we address what President Reynolds
13 referred to as looking at the aspirational goals of
14 California to make sure that we're going to have the
15 infrastructure and the systems we need to meet the
16 demand that we're going to be seeing over the next few
17 decades. Demand side resources continue to play a
18 critical role in ensuring that we have load flexibility
19 and meet our SB 100 goals. And I know as I've said in
20 many other meetings, load flexibility and demand side
21 resources are going to be a really critical
22 indispensable tool in meeting those SB 100 goals.

23 At the PUC, I oversee the High Distributed
24 Energy Resource or High DER proceeding and that
25 proceeding focuses on preparing the electric grid for a

1 high number of DERs. These DERs include battery storage,
2 customer sited solar and electric vehicle
3 infrastructure, and we're anticipating a very high level
4 of DER penetration, particularly in the transportation
5 sector and are seeking to optimize the integration of
6 those DERs within the distribution grid while making
7 sure that the rates customers pay are affordable. The
8 proceeding focuses on distribution planning processes
9 and data improvements as well as electrification
10 impacts, utility distribution, planning processes, data
11 sharing and transparency and community engagement. The
12 IEPR forecast again is foundational. It's a critical
13 component that's heavily relied on for investor-owned
14 utility investment and distribution infrastructure and
15 continues to be an integral piece of our statewide
16 planning process and work that we hope to accomplish.
17 So, again, the work that we do needs to be closely
18 coordinated with the CEC and ensuring that we're getting
19 this right as we're looking at what our distribution
20 grid needs to be to meet our demand side, both the
21 resources we'll be relying on as well as the demand that
22 customers have. And so, I think - and I'm looking
23 forward to hearing the presentations today. I think this
24 is one of the most important things that the IEPR is
25 doing is setting the stage for all of the work that all

1 of the agencies are doing to make sure we're able to
2 meet our mission.

3 So again, I want to thank the CEC, the staff
4 and all of the work that we're doing together to ensure
5 that California has safe, reliable and affordable
6 electricity. And with that, I will turn it back over to
7 Vice Chair Gunda.

8 VICE CHAIR GUNDA: Thank you, Commissioner
9 Houck. Just for the record, we also have Commissioner
10 Shiroma and Commissioner Douglas in attendance today.

11 I just wanted to close off from the virtual
12 dais, just a big thank you to all the participants, the
13 public that are calling in today and stakeholders you
14 are such an important part of this process, so thank you
15 for taking the time to continue to work with the
16 agencies in developing these important assumptions.

17 I also want to note for the record that we
18 have more PUC commissioners today than CEC
19 commissioners, so it's more of a PUC workshop today.
20 Just wanted to make sure.

21 So with that, I will pass it to Heather to
22 have us started.

23 MS. RAITT: Okay, great. Thank you so much,
24 Commissioners. So first we will hear from Heidi
25 Javanbakht who is just going to give us an overview of

1 the forecast. So go ahead. Oh, I'm sorry. And Heidi is
2 the demand analysis branch manager, so thank you Heidi,
3 go ahead.

4 MS. JAVANBAKHT: Hello, everyone. As Heather
5 said, my name is Heidi Javanbakht. I the manager of the
6 demand analysis branch, and I am going to kick us off
7 today with an overview of the energy demand forecast and
8 the forecast updates for this year. Next slide.

9 I'll start with some background about why the
10 Energy Commission forecasts energy demand. In 1974, the
11 Warren Alquist Act established the Energy Commission to
12 respond to the state's on sustainable growth and demand
13 for energy. And as part of this act, public Resources
14 Code 25301A requires that the energy commission conduct
15 assessments and forecasts of all aspects of energy
16 industry, supply production, transportation delivery and
17 distribution demand and prices, and that these forecasts
18 occur at least every two years. Next slide.

19 The California Energy Demand forecast often
20 referred to as the CED or the IEPR Forecast is
21 foundational to procurement and system planning in the
22 state. It's used by the CPUC for integrated resource
23 planning and by the California ISO for transmission
24 system planning. Excuse me. It's also used by the CPUC.
25 One second.

1 Okay. It's also used by the CPUC and utilities
2 for resource adequacy requirements and by the utilities
3 for planning. The forecast is a 15 year forecast of
4 electricity and gas demand in the state. We project
5 annual electricity and gas demand and hourly electricity
6 loads. The forecast includes scenarios reflecting
7 various levels of adoption of energy efficiency,
8 building electrification and transportation
9 electrification, and the forecast also includes one in X
10 year net electricity peak estimates. And we update the
11 forecast annually with a comprehensive update in the odd
12 years. Next slide.

13 Throughout the forecast year, we solicit input
14 from stakeholders through IEPR workshops and demand
15 analysis working group meetings. We held two workshops
16 in August to discuss the forecast inputs and assumptions
17 and one in November that covered the results for
18 transportation electrification, behind the meter PV and
19 battery storage, and additional achievable energy
20 efficiency and fuel substitution. Today's workshop will
21 go over the annual electricity and gas demand results.

22 We'll have a final workshop on December 19th
23 to go over the peak electricity demand results, which
24 were not ready in time to present today. After that, we
25 will review any comments submitted after these

1 workshops, make any last adjustments and post the final
2 results. And the results will be presented at CEC's
3 January Business Meeting for adoption.

4 In addition to the IEPR workshops, we also
5 held four Demand Analysis Working Group meetings or DAWG
6 meetings, and at the DAWG meetings we do a deeper dive
7 into the details on the inputs and methodology updates
8 with open discussion and feedback from stakeholders. And
9 I want to thank the CPUC, the California Air Resources
10 Board, the ISO, the IOUs, and many others who provided
11 valuable feedback on our forecast this year. Next slide.

12 In recent years, extreme weather events have
13 been occurring more frequently than they did over the
14 last 30 years. And historical weather data are no longer
15 sufficient for predicting future weather patterns. The
16 team is developing new methods for incorporating climate
17 change into the forecast and will be rolling these out
18 incrementally, aiming for full implementation for the
19 2025 IEPR. This forecast cycle, we shifted from using
20 historical weather data to using climate projections.
21 For future forecast cycles we are exploring the use of
22 new weather variables such as heat index and we are also
23 moving towards a probabilistic hourly forecast and
24 aiming to implement that for the 2025 IEPR.

25 At the same time that we are experiencing the

1 impacts of climate change, the state is strategizing on
2 how best to meet economy-wide carbon neutrality by 2045.
3 Many of the strategies impact energy demand and we've
4 seen an uptick in policies and programs aimed at
5 increasing energy efficiency, electrifying buildings and
6 transportation and shifting load to off peak hours. As
7 these new policies and programs are developed, they are
8 incorporated into the forecast. Next slide.

9 I want to touch on - Okay, I want to touch on
10 recent building electrification updates since this is
11 behind one of the biggest changes to the forecast this
12 year. The state has several goals related to building
13 electrification. These include a 3 million - a goal for
14 3 million climate ready and climate-friendly homes by
15 2030 and 7 million by 2035. The state also has set a
16 goal to install 6 million heat pumps by 2030 and on
17 October 10th at the EPRI and CEC Building
18 Electrification Summit, the top global appliance
19 manufacturers and distributors committed to help
20 California achieve the 6 million heat pump goal. These
21 types of goals often lead to development of incentive
22 programs and regulations to spur adoption and these
23 proposed programs and regulations are the basis of the
24 additional achievable scenario designed that is
25 incorporated into the forecast.

1 Several regulations are in the works that
2 require zero or low NOx appliances. At the statewide
3 level, the Air Resources Board began their rulemaking
4 process earlier this year for zero emission space and
5 water heaters and expects to finalize it in 2025. The
6 Bay Area AQMD adopted a zero emission standard in March
7 of this year and the South Coast AQMD will start their
8 rulemaking in 2024. And one other proposed standard
9 that's not on this slide is that the CEC is also
10 considering a standard that would require replacing
11 burnt out central AC units with heat pumps and if
12 approved, this would go into effect in 2026. Next slide.

13 When standards are in a preliminary stage,
14 there are many areas of uncertainty. There's uncertainty
15 due to differences between regions, the timing of when
16 regulations may go into effect and what sectors,
17 appliances and fuel types they may impact. There's also
18 uncertainties around how consumers will react to these
19 standards and what the compliance rates will be. There's
20 also uncertainties around manufacturer capacity as well
21 as local impacts to the gas and electric systems and
22 grid readiness. Next slide.

23 In recent years due to the uptick in
24 decarbonization and electrification policies, the
25 forecast team expanded its use of the additional

1 achievable framework which previously focused on energy
2 efficiency impacts. In 2021, the team expanded the
3 additional achievable framework to building
4 electrification and in 2022 expanded it to
5 transportation electrification. Additionally, last year
6 we redesigned the forecast framework to focus on the
7 uncertainties in the implementation of decarb and
8 electrification policies like those that I outlined on
9 the previous slide. And this was a shift from the
10 previous forecast framework that was focused more on
11 capturing uncertainties and economic and demographic
12 outlooks. Next slide.

13 This table shows the general guidelines for
14 defining a suite of additional achievable scenarios. The
15 scenarios increase in uncertainty as you go from
16 scenario one to scenario six. Out of this list, the
17 three to pay attention to are scenarios two, three, and
18 four. These are the scenarios that are used for energy
19 planning. Scenario three is considered reasonable to
20 occur though uncertainties exist around adoption levels
21 and impacts. Scenario two looks at impacts from programs
22 and regulations that will occur, but there's uncertainty
23 still around the impacts. Scenario four incorporates
24 impacts from programs and regulations that are likely to
25 occur but are still in the planning phase. Scenarios

1 five and six are more speculative and these are useful
2 for looking at energy impacts from strategies that could
3 exist in the future to meet greenhouse gas reduction
4 goals. In the last note here is that we don't always
5 produce six scenarios. Next slide.

6 The managed electricity forecast is built from
7 a baseline forecast plus select additional achievable
8 scenarios depending on the use case. The planning
9 forecast is used for resource adequacy and integrated
10 resource planning. This forecast uses scenario three
11 from each of the additional achievable modifiers. The
12 local reliability scenario is used for more
13 geographically granular studies such as the ISO's
14 transmission planning process. The local reliability
15 scenario uses AEE, the energy efficiency scenario two,
16 fuel substitution scenario four, and transportation
17 electrification scenario three, which results in a more
18 conservative forecast with higher demand in order to
19 account for increased uncertainty when looking at a
20 smaller geographic region. Next slide.

21 We also forecast annual gas demand through the
22 IEPR process and update this forecast every two years.
23 The inputs and assumptions are consistent with the
24 electricity demand forecast, and this is an end user
25 forecast and does not include gas required for

1 electricity generation.

2 The general framework is similar where
3 baseline economic and demographic and price inputs are
4 used to create a baseline forecast that can then be
5 layered with various combinations of additional
6 achievable scenarios. Historically, the Energy
7 Commission has not recommended a set of scenarios for
8 gas system planning. Rather the gas utilities choose the
9 combination of scenarios, and this is typically
10 different from the combination used for electricity
11 system planning in order to use something more
12 conservative for gas that minimizes risk on taking
13 reliability concerns into account. For both electricity
14 and gas there is a need to minimize risk with system
15 planning to maintain reliability. The electricity system
16 has to be ready to accommodate building and
17 transportation electrification, whereas the gas system
18 has to continue to be available in the event that the
19 market is not able to transition as quickly as proposed.
20 Next slide.

21 I'm going to shift gears now to go over the
22 forecast approach at a high level. Next slide.

23 We produce a system level forecast and our
24 forecast is for eight electricity planning areas and
25 four gas planning areas. On the electricity side, this

1 includes the three IOUs, Northern California non CAISO,
2 which we refer to as NCNC, LADWP, Imperial Irrigation
3 District, Burbank/Glendale, and Valley Electric
4 Association. On the gas side, it's the three large gas
5 utilities in the state, plus an other category to
6 capture the other regions. Next slide.

7 The common level of geographic granularity
8 across all of our forecast models is the forecast zone.
9 These are based on planning area boundaries in addition
10 to climate, and I will note that these zones are
11 different than the climate zones used for energy codes
12 and standards. Next slide.

13 Also wanted to quickly cover forecast
14 terminology that you'll be hearing throughout Chris's
15 presentation. Who will be - Chris will be presenting on
16 the results. So we forecast total consumption, which is
17 before PV or other load modifiers are taken into
18 account. And then when we layer on the behind the meter
19 distributed generation impacts, this brings us to the
20 baseline sales. After that, we layer on the impacts of
21 the additional achievable scenarios for energy
22 efficiency, fuel substitution and transportation
23 electrification, and that gives us the managed sales.
24 Next slide.

25 The next few slides will walk us through the

1 forecast model system. Next slide please. Thanks. Okay.

2 Oh, back one. Yep. Perfect. Okay.

3 The starting point for the models is the
4 historical electricity and gas sales data reported by
5 the utilities through the Quarterly Fuel and Energy
6 Reports or QFER. We add this to our estimates of
7 historical behind the meter distributed generation to
8 come up with historical electricity and gas consumption.
9 The historical consumption data are provided to the end
10 use and NAICS code-based forecast models. Next slide.

11 Economic and demographic projections from
12 Moody's and the Department of Finance are inputs to the
13 models as well as forecasts of electricity rates and gas
14 prices. Next slide.

15 Committed energy programs, codes and standards
16 are taken into account in estimating energy demand for
17 each sector. We also account for title 24 mandates for
18 PV end storage for new construction. Next slide.

19 Additional achievable scenarios are developed
20 for energy efficiency, fuel substitution, and
21 transportation electrification. These scenarios are for
22 impacts above and beyond the committed energy programs.
23 Next slide.

24 The load modifiers in the orange boxes are
25 combined with the baseline consumption to create the

1 managed annual sales forecast scenarios. And this is the
2 end result for the IEPR gas forecast, but the
3 electricity forecast has one additional step. Next
4 slide.

5 The last step here is to produce the hourly
6 electricity forecast from which we can extract the net
7 peak demand. And from here we also estimate the one in X
8 year net peak demand. Okay, next slide.

9 Moving on now to talk more specifically about
10 the updates for the 2023 IEPR forecast. Next slide.

11 Each year that we update the forecast, we add
12 an additional year of energy sales and consumption data.
13 We use more recent economic and demographic data and
14 update the electricity rates and gas price projections.
15 And the gas prices were presented at an IEPR workshop
16 back in April and the electricity rates were presented
17 at a DAWG meeting in October. Next slide.

18 We have a few significant model changes for
19 our forecast this year. We are forecasting out to 2040
20 to support CAISO's transmission planning process per SB
21 887. We are also conducting another round of the long-
22 term demand scenarios to be completed next spring and
23 are extending projections out to 2050 for that work. The
24 long-term demand scenarios feed into the assessments for
25 SB 100. We shifted to a refurbished residential end use

1 model this year, which was modernized and incorporates
2 data from the latest residential appliance saturation
3 study. And we are also incorporating new climate
4 simulation data available through Cal-Adapt. Next slide.

5 On behind the meter PV end storage, there were
6 also several updates on these included an improved
7 process for determining historical capacity, which
8 resulted in slightly lower estimates of PV capacity and
9 higher estimates for storage capacity. Also, over the
10 past year, the team has been working with the National
11 Renewable Energy Laboratory to adapt their dGen model to
12 California, and that model was used for the 2023
13 forecast. Some of those adaptations included
14 incorporation of the net billing tariff as well as the
15 extension of the ITC, of a federal tax credit. The dGen
16 model doesn't include standalone storage, so the team
17 also developed a separate model for standalone storage.
18 Next slide.

19 And, lastly, the additional achievable energy
20 efficiency and fuel substitution projections were
21 refreshed to reflect the most recent codes and standards
22 and incentive program data. The Air Resources Board
23 included a zero emission space and water heater measure
24 in the state implementation plan, which was included in
25 the fuel substitution scenario 4 for the 2022 IEPR

1 forecast, which went into the local reliability
2 scenario. This year, CARB held a public workshop in May
3 of 2023 to kick off the rulemaking process. And with
4 that signal that this is moving forward, for the 2023
5 forecast the team incorporated this proposed standard
6 into AAFS, Additional Achievable Fuel Substitution
7 Scenario 3 and collaborated with the Air Resources Board
8 on the assumptions.

9 This standard is anticipated to have a
10 significant impact on electricity demand, which you'll
11 see as Chris goes through the forecast results. So we
12 thought it was important to include this in the planning
13 forecast so that the state can begin to prepare for
14 these impacts on the electricity system. And lastly, for
15 transportation, the forecast was updated to account for
16 the clean miles standard, which applies to companies
17 like Uber and Lyft and sets a target for the percentage
18 of electric miles driven. Next slide.

19 The changes I just summarized were discussed
20 in more detail at DAWG meetings throughout this year as
21 well as the IEPR workshops. I'm not going to go over
22 this table in detail, but it's included here as a
23 reference in the event that you are looking for more
24 information on any particular topic. Next slide.

25 And these are the next steps for the IEPR

1 forecast. The draft IEPR was posted for comment and does
2 not include the forecast results because those were not
3 completed until recently. The forecast results will be
4 added to the final IEPR report. We will also have
5 another workshop on December 19th to go over the hourly
6 and peak electricity demand results, which again, we're
7 unfortunately not ready to present on today. Written
8 comments for today's workshop are due on December 20th.
9 Comments on the December 19th workshop will be due in
10 early January. Also in January, we'll take the forecast
11 results to the CEC Business Meeting for adoption, and in
12 February the final IEPR will be posted and taken to the
13 CEC Business Meeting for adoption. Last slide. One more.

14 That's it for my presentation. Next is Chris
15 Kavalec who's going to go over the annual electricity
16 and gas forecast results.

17 MS. RAITT: Thanks, Heidi. This is Heather. I
18 wonder if I could jump in. We've got a couple of
19 questions for you. I think we have time to take them
20 before we move to Chris. Does that work?

21 MS. JAVANBAKHT: Yeah, sure.

22 MS. RAITT: Okay, great. So I'll just go ahead
23 and introduce Jeremy Smith. He's the Deputy Director of
24 the Demand Forecasting and Scenario Development at the
25 Energy Commissions in the Energy Assessment Division. So

1 happy to have Jeremy here. And go ahead, Jeremy.

2 MR. SMITH: All right, great. Thank you
3 Heather, and good afternoon everyone. Our first question
4 is from Matthew Vespa. It says, are you recommending a
5 scenario for gas planning this time? Conservative
6 scenarios create stranded asset risk.

7 MS. JAVANBAKHT: This is something that we
8 would like input from stakeholders on. As I mentioned,
9 we haven't in the past recommended a scenario for gas
10 planning.

11 MR. SMITH: Okay. And then we got one other
12 question from Andy Brown. Are the other forecast areas
13 excluded from the forecast models?

14 MS. JAVANBAKHT: No, we do forecast for those
15 other areas as well. They're just included in an other
16 category.

17 MS. RAITT: Great. Thank you, Heidi. Thank
18 you, Jeremy. Oh, go ahead. Sorry, Vice Chair.

19 VICE CHAIR GUNDA: Yeah, I just have a quick
20 question as well, Heidi. I think in the spirit of the
21 first question and kind of your remarks a little bit,
22 and I think there's another question there for me as
23 well.

24 First of all, thank you so much for the
25 presentation. I've watched the evolution of the

1 forecasting results, accessibility, and I just feel like
2 it's such a high level of accessibility that we are
3 aiming for now in terms of just setting the stage. So
4 thank you so much for being as thoughtful as you are and
5 going through that.

6 I think my question is along the lines of the
7 first question. You kind of talked about uncertainties,
8 and I know we've discussed internally as well, both on
9 the regulatory front, just some of the things we might
10 have to make into the electrification realm, but also on
11 the planning risk by creating that cushion of
12 uncertainty, both on the electrification side but also
13 on the gas side.

14 Could you just talk through how you're
15 thinking about continued improvements? Right. I mean, I
16 think we have a forecast again in a year. I mean, we
17 discussed some level of opportunity here to do some mid-
18 year updates on some issues as warranted, but also kind
19 of how are you thinking about the reasonableness, right?
20 So the forecast is supposed to be reasonable to occur
21 with cushion on both ends. So if you could just talk a
22 little bit more on the thinking of the team and any
23 input you might have gotten from stakeholders in the
24 DAWG process and such. Thank you.

25 MS. JAVANBAKHT: Yeah, sure. So your first

1 question, we are in collaboration with the Air Resources
2 Board and tracking their progress on this regulation.
3 We'll also be closely watching our efficiency division
4 and their work on the building standard side, appliance
5 standard side for replacing AC with heat pumps. And if
6 there are changes to what has been proposed, we can make
7 an update. So typically our additional achievable
8 scenarios are for the energy efficiency and fuel
9 substitution are only updated in the odd years. But if
10 there's more information, if things change a lot next
11 year, we can do an update next year and either
12 incorporate it into next year's forecast or there's even
13 potential to do a mid-year adoption of new scenarios if
14 needed.

15 VICE CHAIR GUNDA: Great. On the second
16 question, just on the thinking around the reasonableness
17 to occur, I mean we've had this discussion, I think
18 pretty robust discussion a couple of years ago on the
19 need to look towards the scoping plan and looking at
20 incorporating some of the elements of the scoping plan
21 into the forecast paradigm given how long it takes to
22 build infrastructure needed. But I also recognize the
23 point you made on the gas side, which is the alternate
24 side. While we are imposing a higher level than
25 reasonable to occur to cushion the infrastructure

1 development, you also were talking about reducing the
2 risk by making sure we consider.

3 Could you just talk about the thinking along
4 those lines and also what we might have heard from
5 stakeholders during the DAWG meetings and such?

6 MS. JAVANBAKHT: Yeah. Well, so on the
7 electricity side, we want to be sure that we are getting
8 a little bit more ahead of these proposed regulations
9 and programs than we have been in the past because there
10 is such long lead time for some of the grid improvements
11 to accommodate electrification from both transportation
12 and building electrification. So from that side, wanting
13 to incorporate these a little bit earlier, a lot of
14 signals that happened this year that building
15 electrification will move forward. So we have bucketed
16 it under reasonable to occur, but how it occurs, there's
17 still a lot of uncertainty, which is why it's falling
18 under AAFS 3.

19 And then - oh, did you want to add something?

20 VICE CHAIR GUNDA: Oh, no. So. First of all, I
21 am really, really appreciative of thoughtfulness, of
22 thinking this through. So is that then, given that we
23 are assuming highly - slightly higher electrification or
24 maybe in some cases higher than slightly electrification
25 to allow for that uncertainty, is that equivalent amount

1 is what you are thinking could essentially not decrease
2 on the gas side and hence you need to be able to cushion
3 that gas front? Is that how to think about this?

4 MS. JAVANBAKHT: Yeah, well, I think so on the
5 gas side, as I mentioned, the gas utilities do not
6 usually use the same set of scenarios that we use on the
7 electricity side. And I don't see that as being a
8 problem. I think that that's smart because they need to
9 do the same thing, but on the gas side, they need to
10 manage risk and make sure the system is available and
11 reliable. And so with fuel substitution and electrifying
12 buildings, we want to make sure that the gas system is
13 still available in the event that there's a lot of
14 uncertainties, there is the chance that this does not
15 roll out as quickly as we would like. So having the gas
16 system available in that event is important.

17 VICE CHAIR GUNDA: Got it. Thank you, Heidi.
18 With that, I'll go to Commissioner Houck.

19 COMMISSIONER HOUCK: Yeah. As a follow up
20 first I want to thank you for the overview. I really
21 appreciate it and just want to recognize the complexity
22 of all of the work and the importance of it. And you're
23 dealing with what you know from the past, what we're
24 anticipating from the future, known unknowns and unknown
25 unknowns, and then the aspirational goals that we want.

1 So I just want to recognize how complicated all of this
2 is, especially as we're going through this transition
3 where we're hoping to get to a certain place by a
4 certain time. And I think one of the things we've seen
5 in looking at the distribution planning aspects at the
6 PUC is this need for the overall statewide planning, the
7 top down and the bottoms up approach. And just trying
8 to, and I know this is complicated and we're all still
9 working through it, but I'm just wondering how we get
10 more localized.

11 I know you talked generally about smaller
12 areas, and this may be something you're getting to later
13 or in the next workshop, but I know that the forecast
14 zones that are based on the climate zones are still
15 fairly large for some of the areas that we're seeing
16 capacity constraints and impacts in. And so I'm just
17 wondering how as we're working through all of this,
18 we're going to be able to get some of the localized
19 issues that we're seeing built into the forecast. And,
20 again, this is really foundational to what we're doing
21 and needing to be working hand in hand with the CEC on
22 this. And so if there's anything on our end and as far
23 as being able to communicate better. But I'm just
24 wondering if the forecast that you're doing for this
25 IEPR or for the next IEPR is going to be able to build

1 in some of the localized constraints that we're seeing
2 in the system, particularly in regards to environmental
3 justice communities that we've got a lot of program
4 money we're hoping to go into those areas where we want
5 to make sure that vehicle electrification infrastructure
6 and building decarbonization are recognized as well as
7 some of the more rural areas where from looking at the
8 past, we might not anticipate growth, but we're trying
9 to make sure that we're accounting for it. I hope that
10 makes sense.

11 MS. JAVANBAKHT: Yeah. So our forecasts, like
12 I said, is at the system level, and that's because the
13 primary use cases for the forecast have been resource
14 procurement, resource adequacy, and the integrated
15 resource planning. We do take the additional achievable
16 modifiers down to transmission. They're more localized
17 for transmission planning, and we do send those numbers
18 over to the ISO, but those do not get as granular as
19 would be needed for example, for distribution system
20 planning. It's difficult,

21 But we can talk more if there is a need to go
22 that route in the future. And we do at the CEC have the
23 AMI data, the Advanced Metering Infrastructure data. So
24 I think there are some opportunities to start looking a
25 bit more granularly than we currently do, but I think it

1 would need to be a balance. A distribution planning
2 forecast is necessarily much different than a system
3 level forecast. There's just so much more uncertainty
4 the more granular you get with geography. So that has to
5 be taken into account, but there may be some balance in
6 there, some regional distribution or regional
7 granularity in between the two that might make sense.

8 COMMISSIONER HOUCK: No, thank you. That's
9 really helpful for me to understand what the potentials
10 are, so thank you very much.

11 VICE CHAIR GUNDA: Thank you, Heidi. I don't
12 know if any other Commissioners have any questions, but
13 just on the last question that Commissioner Houck
14 raised, I think to your point, the forecast has always
15 tended to look at system level down to the allocation
16 that was required for planning purposes, right? So we've
17 taken that, but I think I do want to appreciate the
18 question that Commissioner Houck raised and some of our
19 adjunct efforts on the planning side. How can we help
20 support potentially kind of a more granular work? I
21 think that's something that we have been discussing
22 internally. I think we should at least have discussion
23 on how best to serve the purposes of PUC planning as
24 needed. So let's kind of have that as a idea to discuss.
25 Thank you.

1 MS. RAITT: All right, are you ready to move
2 on? This is Heather. Thank you, Heidi, so much for that
3 presentation and discussion. So I think you're ready to
4 move on to our next presentation from Chris Kavalec. And
5 Chris is the CEC's former Demand forecast Coordinator
6 and happy to have him back sharing his expertise as a
7 retired annuitant.

8 So go ahead, Chris.

9 MR. KAVALEC: Good afternoon. I am Chris
10 Kavalec. Some of you may remember me from four or more
11 years ago when I was leading the Forecast. I came back
12 recently to help out. We have in the demand office a lot
13 of new staff, a lot of very talented staff, but
14 relatively new. So I decided I would come back and try
15 and help out while the newer younger staff are coming up
16 to speed. And I apologize in advance if there are
17 questions I can't answer. I've only been back for a
18 little over a month and I'm still digesting the forecast
19 myself and I haven't had a lot of time to delve into a
20 lot of details, but I will attempt to give a coherent
21 presentation today. Next slide.

22 Heidi gave an overview of our forecasting
23 process and I wanted to list and briefly talk about the
24 models and sectors we use for this particular forecast.
25 Our consumption and sales forecast for electricity and

1 natural gas. You see the models listed there and two
2 types. Basically we have end use models which are bottom
3 up models starting at the appliance or equipment level,
4 and we have econometric models which are more top down.
5 We also have supporting models that provide us
6 commercial floor space, households, the impacts and the
7 impacts of climate change. And we get input from our, as
8 you've already heard, from our transportation and self-
9 generation model outputs. And the transportation models
10 give us electricity that is combined into various
11 sectors for this forecast. For example, the electricity
12 consumed by personal light-duty vehicles is added into
13 the residential forecast. Note that the commercial
14 sector and model shown there shows two types, end use
15 and econometric. Typically we use an end use model for
16 our commercial forecast, but in this forecast, our
17 commercial end use model is being updated with data from
18 the commercial end use survey or CEUS, which is a major
19 undertaking. So it wasn't ready for this forecast. So
20 we're using an econometric model for commercial.

21 For the residential model, the model was
22 recently revamped, but there's still a little bit of
23 work to do in incorporating programs and standards
24 directly within the model. Currently some are embedded
25 in the model. And some are we have to post-process and

1 subtract from the residential results. Our stakeholders
2 look at these fancy models and sophisticated methods and
3 they all say there's no way this forecast could be
4 wrong, but I may just have dreamed that. Next slide.

5 Critical inputs to our forecast. Here we see
6 some of the important economic and demographic drivers
7 that we use in the forecast. The economic drivers. The
8 first three listed here, gross state product, personal
9 income, and commercial employment are pretty similar to
10 what we used in our last forecast. We call that CEDU.
11 That means the U means update. Last year was an update
12 year for our forecast and not a full forecast. Taking a
13 look at demographic drivers, population and number of
14 households, we see significantly lower growth rates
15 versus the last forecast. And next slide.

16 Taking a closer look. I think he went back
17 one. Yes. Thank you.

18 We see that growth in households and
19 population compared to our previous forecast in the red,
20 and there's a notable decline and that comes about - we
21 get our demographic forecasts from the Department of
22 Finance who in their recent most recent forecasts have
23 projected more out migration than they have before and a
24 decline in the fertility rates in the state. So those
25 projections lead to the lower projections we see here

1 for households and population. Next slide.

2 Electricity rates. You see for the major
3 sectors, they're a little bit higher than the last
4 forecast because of updated revenue requirement
5 projections and using our previous sales forecast.
6 That's the result we get. So they're a little higher
7 overall. Our price elasticity of our models taken
8 together, meaning the impact on demand of a given change
9 in price is fairly low, so it doesn't have a huge
10 effect, but there is an effect there as we will see.
11 Next slide.

12 Natural gas rates fairly close to the last
13 forecast, except in the case of residential. We have a
14 lower - lower forecast and which will impact the
15 residential gas forecast as we'll see. Next slide.

16 We spend a lot of time in our forecast talking
17 about AAEE, but our baseline forecast also incorporates
18 what we call committed efficiency savings, which means
19 savings from programs that have been funded and approved
20 and standards that have been implemented as opposed to
21 future standards. And then we rely on potential studies
22 and other analysis to give us the AAEE. And the graph on
23 the left, the program impacts - you can see the cutoff
24 point for committed programs in 2023. On the committed
25 side, we don't have any new programs after 2023 and the

1 AAEE begins in the next year in 2024. So after 2023,
2 you'll see the blue curve there. The savings began to
3 fall off as the program measures begin to decay.

4 And then for standards on the right, we used
5 the cutoff point of earlier cutoff point 2021 because
6 our efficiency experts decided there was enough
7 uncertainty around the 2022/2024 Title 24 standards that
8 savings from these latest standards should move into
9 AAEE. Next slide.

10 This looks at gas programs and standard
11 savings. I'm not sure what happened with the 2021. Oh,
12 by the way, for gas, we were comparing it not to the
13 2022 forecast, but the 2021 forecast because in the
14 update year we don't do a gas forecast, typically. And
15 I'm not sure what happened with the data for the 2021.
16 Here you see that we don't have the whole curve for
17 2021. And then on the standard size we have this big dip
18 in 2021, and I'm not sure why that's happening. I'll
19 have to look into that further. But anyway, the blue
20 again shows the committed program and standard savings
21 embedded in our gas forecast.

22 Okay, so onto some results. Next slide,
23 please. First, electricity consumption results. Next
24 slide. Here we see a residential electricity consumption
25 projected for the state as a whole. And you can see that

1 in the blue curve there during the forecast period is
2 lower than in the previous forecast. And that's not
3 surprising given our look at projected household and
4 population growth. And also as we saw some rate
5 increases so that by 2035, the new forecast is about
6 five and a half percent lower than the 2022 forecast.
7 Next slide.

8 Commercial electricity consumption doesn't
9 change much. And again, that's not surprising given the
10 similarity in economic growth rates that we saw earlier.

11 Towards the end of the forecast period, the
12 rate of commercial, commercial electricity consumption
13 begins to show lower growth, and that's because the
14 commercial electricity rates late in the forecast begin
15 to rise faster than commercial employment, which is the
16 main driver of commercial electricity consumption. Next
17 slide. Industrial electricity consumption. This includes
18 manufacturing and mining and construction. You see a
19 lower forecast to 2022 and once key source of this
20 difference comes from a new starting point as we revised
21 our historical data and we see a dip in the first couple
22 forecast years as near term growth by industry is
23 updated with evidence from recent history, but then it
24 rebounds a few years out showing a high rate of growth
25 on the previous forecast. And another reason for that

1 dip at the beginning is the jump in industrial
2 electricity rates, agriculture and water pumping
3 consumption. Next slide, please.

4 Again, we see a difference in starting points
5 as the historical data gets updated. Then a little
6 bounce back to almost the level of the previous
7 forecast, followed by slower growth as you can see
8 compared to the previous forecast. This lower growth
9 comes from the rate increase rate increases as well as
10 in this industry there's generally been a movement
11 toward more efficient use of water in the industry, such
12 as switching to less water intensive crops. So those two
13 reasons go into giving us a flatter curve for our
14 agricultural forecast for consumption. Next slide,
15 please.

16 TCU or transportation communications and
17 utility and street lighting together is a sector in our
18 forecast. Here we start out with a higher updated
19 historical data followed by slightly faster growth. And
20 this is caused mainly by increasing electricity, use by
21 medium and heavy-duty trucks as well as off-road
22 vehicles. Next slide, please.

23 And result of adding up all these sectors
24 gives us statewide electricity consumption, which is
25 down slightly due to our lower residential forecast. So

1 that by 2035 consumption is down by around 1.5 percent
2 relative to the previous forecast. Next slide.

3 This chart shows you the proportion of
4 consumption by each of the different sectors in our
5 model out to the end of the forecast period. And here we
6 can see the result of lower residential consumption
7 growth with commercial growth being roughly the same as
8 it was in the previous forecast. The commercial sector
9 over the forecast period begins to out consume the
10 residential sector so that later in the forecast it is
11 the biggest energy commercial is the biggest energy
12 consuming producer in 2040. Commercial electricity
13 consumption is responsible for around 40% of the total
14 with residential at about 35 percent. Next slide.

15 Now, in order to get to our sales forecast, we
16 need to subtract off self-generation, meaning PV of
17 course, as well as other technologies like wind and gas
18 turbines, waste heat conversion, et cetera. And forecast
19 for self-generation was presented in our November
20 workshop along with the efficiency results. Next slide.

21 This is a word about this in general. We have
22 more PV in the forecast in spite of the net billing
23 tariff, and this is as a result of higher rates and a
24 lower payback period and an extension of the investment
25 tax credit out to 2034. We also have updated historical

1 data, as Heidi mentioned, and a new predictive model,
2 NREL's DGen model, which changed the results. But the
3 pace of increase for PV begins to slow down towards the
4 end of the forecast. Next slide.

5 As we see here, the flattening of self-
6 generation, electricity produced by self-generation as
7 the investment tax credit is phased out in the mid
8 2030s. Next slide.

9 So subtracting that from our consumption
10 projections gives us forecasts for baseline sales. So
11 here we see the sales set off against the self
12 generation impacts. So you can see directly the impact
13 of self-generation and to the tune of about 74 terawatt
14 hours by 2040. And since self-generation is higher than
15 in the previous forecast, sales dropped more percentage
16 wise than consumption in this forecast down by about 3
17 percent by 2035 compared to the previous forecast. Next
18 slide, please.

19 Okay, so here we get to see some scenarios for
20 our managed forecast, which includes a planning forecast
21 and a local reliability forecast. Two different
22 scenarios. The baseline sales from this forecast in the
23 last shown in with dotted lines there, the planning
24 forecast and local reliability forecasts in blue and
25 black. There you can see they end up between by 2035

1 between the plan, the managed forecast sales that we had
2 for our previous forecast. And that's because these two
3 are fairly close together, the new ones. And that's
4 because unlike the last forecast, the state
5 implementation plan has been included in both scenarios.

6 So we developed, as Heidi said, five or six
7 scenarios for each of our load modifiers. The load
8 modifiers being AAEE, Additional Achievable Fuel
9 Substitution, and Additional Achievable Transportation
10 Electricity. So for our planning scenario - planning
11 forecast, the one in blue there, we're using sort of a
12 mid level in terms of aggressiveness for these load
13 modifiers. And then for the local reliability forecast,
14 we're using a more conservative AAEE case, a more
15 aggressive, at least on the programmatic level for
16 additional achievable fuel substitution. And the same as
17 in the planning forecast for additional achievable
18 transportation electricity. So the local reliability
19 forecast was meant to be more conservative over overall.
20 But the 2023 more, what I call more aggressive scenario
21 for fuel substitution actually has less residential fuel
22 switching in 2040 than the one used for the planning
23 scenario because of the assumptions made about the zero
24 emission appliance standards. And that's why the two,
25 you can see the two sales scenarios converge by the end

1 of the forecast period. They're almost identical. Next
2 slide, please.

3 And here's a look at the three load modifiers
4 I was talking about earlier. AAEE is showing these
5 graphs as a negative impact, meaning we're saving
6 electricity and the red lines show the net effect all of
7 the three load modifiers. So initially we start out
8 negative as the savings or the load modifiers are
9 dominated by AAEE, then the other two later in the
10 forecast period, fuel substitution and transportation
11 energy takeover for the rest of the forecast period. And
12 by 2040, we show a total effect on sales of about 57
13 terawatt hours for the local reliability forecast and
14 just slightly less for the planning forecast. Next
15 slide, please.

16 Okay. This shows our transportation
17 electrification impacts the dark blue bars there.
18 Actually it says in the graph that that's managed sales,
19 but I think that's actually consumption. Yeah, I think
20 that's total consumption there from all sectors. So this
21 graph is showing the proportion of total electricity
22 consumed by the transportation sector in two parts. The
23 yellow bars there show the impact of the transportation
24 energy that we have in our baseline forecast. While the
25 green bars show additional achievable transportation, we

1 added to the baseline transportation energy. So you get
2 a sense of the magnet relative magnitudes. We start out
3 pretty small, obviously are today, but by 2040 we're
4 reaching something like 20 percent maybe of total
5 electricity consumed. Next slide, please.

6 So now we get to sales forecast for the
7 individual planning areas, and I'll go through these
8 fairly quickly, but it is our custom to reach out to the
9 utilities for more in-depth discussion on the forecast
10 and to compare our forecast with their most recent
11 forecast, both for sales and for peak and hourly loads.
12 When we get that finished and, if need be, we make some
13 last minute changes if we feel that they're warranted
14 based on our discussions. So I'm not showing a lot
15 today, but we have plenty of time for discussion with
16 the individual utilities. So I'm showing here the same
17 elements as in the statewide case, the two new managed
18 scenarios, planning and local reliability, the two old
19 managed forecasts and baseline line sales for the two
20 forecasts for PG&E.

21 And we see the same pattern here. The two new
22 managed cases end up being between the two from the
23 previous forecast, and they're converging to be almost
24 the same by 2040. New baseline sales, as in the
25 statewide case, will be lower than in the previous

1 forecast because of a lower residential forecast.
2 Overall growth rate for PG&E between 2023 and 2024 for
3 baseline sales is about 1.6 percent a year. And then for
4 the two managed cases, about 2.6 percent per year, which
5 is the fastest of all the planning areas we're looking
6 at here. Next slide.

7 For SCE, again, the same pattern that we saw
8 before. Growth rate of baseline sales is a little bit
9 less than 1 percent and annual average. And then the
10 growth of managed sales is about 1.8 percent annually.
11 And these two rates are the slowest among the five
12 planning areas that we're showing here. And we'll be
13 happy to discuss with Edison the reasons for that. Next
14 slide, please.

15 For San Diego, average growth in the baseline
16 new baseline forecast is 1.7 percent average per year,
17 which is the fastest of the planning areas that we're
18 showing. And growth of managed sales is about two and a
19 half percent annually. Next slide, please.

20 SMUD is not actually a planning area, it's a
21 forecast zone within a planning area, but it's such an
22 important utility that we easily show it by itself. Base
23 baseline sales. Annual average growth for the new
24 forecast is about 1 percent a year, and for the managed
25 forecast is about 1.9 percent per year. Finally, LADWP,

1 1.4 percent growth in baseline sales and 2.5 percent per
2 year average growth for the managed scenarios. Next
3 slide, please.

4 Okay, on to some natural gas consumption
5 results. One more slide down, please. For natural gas,
6 we use basically the same models, same methods. We
7 account for committed programs and standards and climate
8 change, et cetera, in the forecast. Next slide, please.

9 Residential gas consumption. We see a similar
10 situation as with electricity with a lower forecast. And
11 again, the comparison point here is the 2021 forecast.
12 The last time we did a gas forecast. So the lower
13 forecast for residential for the same reasons, lower
14 population growth in rates compounded by a lower
15 starting point for the forecast. Next slide.

16 Also similar to electricity, commercial gas
17 consumption is growing roughly the same rate, a little
18 bit different from commercial rates or from the previous
19 gas. Many of the various very end of the forecast there.
20 It starts to dip a little bit. And this is for the same
21 reason as for electricity. Towards the end of the
22 forecast we have commercial rates rising faster than
23 commercial employment, which pushes the forecast down.
24 Next slide.

25 Industrial manufacturing gas consumption,

1 lower starting point, but a similar rate of growth to
2 the previous forecast. Next slide.

3 Mining and consumption, mining and
4 construction consumption. You can see here a big
5 discrepancy between the two. And this was in terms of
6 starting points and this is due to a data source change.
7 We changed from using all EIA data to incorporating
8 pipeline data that was obtained from our supply office.
9 So this affected the historical data, which as you can
10 see, pushed it down real. And so we end up with a much
11 lower starting point, a little bit higher growth rate
12 for mining and construction gas consumption. Next slide.

13 As with electricity, TCU demand is also
14 predicted to grow and I need to delve into this a little
15 bit. I'm not sure why that's growing so rapidly compared
16 to the previous forecast. I can't give an answer right
17 now, but as with electricity, it's growing throughout
18 the forecast period and putting those all together. We
19 have a statewide natural gas consumption and as with
20 electricity, we have a lower forecast and that's brought
21 to us by lower residential and industrial forecasts, but
22 roughly the same rate of growth as the previous forecast
23 after the first few years of the forecast. Next slide,
24 please. So onto our natural gas. One more slide. Yeah,
25 thank you.

1 Okay, so onto our managed forecast for natural
2 gas. Next slide. This slide shows combined PG&E, SoCal
3 Gas and SDG&E baseline and managed forecasts and
4 includes the two managed cases that correspond to those
5 for electricity. So we have managed cases for this and
6 the previous forecast. So the new managed forecast we
7 see there in the managed forecast in orange and the
8 local reliability forecast in dark blue. And as you can
9 see we have much more natural gas savings in this case
10 because the older forecast had much less fuel
11 substitution assumed. And so these two new managed
12 forecasts, they take a big chunk out of gas consumption,
13 about 46 percent by 2040. And this slide shows a couple
14 additional managed forecasts and we wanted to draw
15 attention to one in particular. Yeah, sorry, next slide.
16 Slide 39.

17 Yeah, so a couple additional managed cases and
18 we wanted to draw your attention to the one there is
19 some uncertainty around the timing and market readiness
20 for CARB's space and water heater standard as Heidi
21 discussed. So we developed a scenario that does not
22 include it making it much more conservative shown by the
23 yellow line, the combination of too conservative load
24 modifiers for AAEE and AAFS. So this would get rid of
25 the risk associated with the standard and it's a

1 scenario that the powers that be may consider if they so
2 choose. Next slide.

3 There's also an appendix here that shows some
4 gas results for the utilities, which I won't go over
5 today, but again, we were happy and to discuss the
6 results more in depth with utilities. So with that, I
7 guess I'll turn it over to the Commissioners. And take
8 it easy on me. I've spent the last four years in the
9 park feeding the pigeons.

10 (LAUGHTER)

11 VICE CHAIR GUNDA: Chris, I have to just start
12 by just welcoming you. Thank you so much for coming
13 back. It was a good surprise hidden. I didn't know that
14 you joined the EAD back and really appreciate you
15 lending your experience and expertise to help support
16 the staff that are working on these issues and could
17 benefit from census. Thank you so much.

18 So I have think maybe just a couple of
19 questions. I think one is on the process, so these are
20 the draft results I take it. And then you mentioned
21 having the meetings with IOUs next. And so could you
22 just comment on the process just for the record on how
23 we approach the process here? You're muted.

24 MR. KVALEEC: The way I would plan it out
25 would be we sit down with the utilities, go over the

1 results and their concerns and compare our forecast to
2 their forecast. Late December, early January. It's tough
3 with the holidays but - and out of that may come some
4 changes based on they have plenty of information we
5 don't always have for their own forecast. And so some
6 changes may be warranted. And with or without changes,
7 we would then, I would imagine brief the Commissioners
8 and JASC and go forward from there and hopefully get
9 that all done in time for adoption.

10 VICE CHAIR GUNDA: Great, thank you. So if we
11 can pull your slides back up. I just wanted to go back
12 to just the opening slides. If somebody can pull Chris's
13 slides up. Sorry, I don't have the deck with me, so I
14 don't know exactly which number it is, but I think it's
15 the third or fourth slide in Chris's presentation.

16 MR. KAVALEC: Try the next slide.

17 VICE CHAIR GUNDA: Thank you. Thank you.
18 Precisely. Thanks so much.

19 So Chris, how it's just in terms of the
20 household and population, could you just expand a little
21 bit on how those forecasts that we depend on generally
22 are developed? How do they capture uncertainty in their
23 work and are we using kind of a median of their
24 forecast? How do we choose this information?

25 MR. KAVALEC: Yeah, back when we were doing

1 three baseline scenarios, we would sometimes get two or
2 three scenarios from DOF. But now we're only doing one
3 baseline forecast, so we're relying on what they call
4 their base case or most likely case. So that's what
5 you're looking at here. But I agree and that's an
6 argument to go back to doing additional scenarios
7 because demographic drivers like this are very critical
8 to the forecast results.

9 VICE CHAIR GUNDA: Thanks, Chris. I think
10 along the lines of the struggle we've had with the
11 climate and others and how big of a variance they show
12 and the impact, as you said, of these economic
13 demographic variables are being so huge, I think it'll
14 be good for us to kind of consider how do we tackle this
15 uncertainty as some of these major trends are happening.
16 Okay, so thank you for framing that.

17 So the other question specifically is on the
18 ag sector. So just wanted to - I think it's probably two
19 or three slides from here. Yes, thank you.

20 So just wanted to Chris ask about in terms of
21 the ag, the broader decarbonization and in a broader
22 kind of the electrification push in ag sector, I
23 recognize that we are probably at the beginning of
24 recognizing the importance of that. Could you just
25 explain what are the main drivers in the ag and the

1 water pumping forecasts are? What are the main drivers
2 and the importance of those inputs and how to
3 potentially start thinking about reducing the
4 uncertainty in those major drivers?

5 MR. KAVALEC: Let's see. You're really testing
6 my memory here. The ag and water pumping model uses
7 econometric regression models that include rates and
8 population and income. And I guess I'll have to defer on
9 this question because it's been so long since I've
10 thought about the ag forecast. Again, it's possible
11 because there are demographics involved, you can do
12 different scenarios for ag and water pumping, but as far
13 as technology trends toward more efficiency, et cetera,
14 I guess I'm sorry, I can't really give you a good answer
15 at this point.

16 VICE CHAIR GUNDA: Yeah, maybe I don't know if
17 Heidi or Nick are online able to comment on this. I
18 think Heidi, I think the question is what are the
19 variables that most move the ag forecast and the pumping
20 forecast and how are we thinking about the potential,
21 the transition of the ag decarbonization and how do we
22 develop the necessary inputs, but also thinking through
23 how to support stakeholders in the ag community with
24 potential analysis that they might need into plan for
25 their transition. If you could just comment on that,

1 that'd be helpful.

2 MS. JAVANBAKHT: Yeah, sure. I know the
3 drought is a really important consideration, has a huge
4 impact on water pumping and electricity consumption for
5 water pumping. And the other, and Nick may be able to
6 say more on the variables that go into the ag forecast.
7 We're in the process on the electrification side, we've
8 got kind of two parallel efforts going on. The first is
9 the development - sorry, my throat is scratchy today.
10 The first is the development of a fuel substitution tool
11 for this segment, for this sector that I think is
12 planned to be implemented for the 2025 forecast. And
13 then the second piece is we are in the process of
14 working with ARB and the PUC and ag - the ag industry
15 and putting together a survey to understand
16 transportation electrification needs in the ag sector.
17 There's a lot of off-road equipment and on-road
18 equipment that will need to be electrified under CARB's
19 advanced clean fleets rules. And so getting a better
20 handle on that and where it will need to be located is
21 really important.

22 VICE CHAIR GUNDA: Got it. Thank you, Heidi.
23 So one last question. I think maybe the slide before the
24 13, it's more of a prop for the question Heidi. I know
25 we've spent a lot of money and time and resources and

1 grateful to the staff for the work on the residential
2 survey and the commercial survey and I know we are
3 integrating them. The latest survey results into the
4 forecasting models on the industrial sector.

5 I think there's a couple of questions. I think
6 we've always kind of dabbled with the idea of
7 potentially doing some sort of a survey to better
8 understand the industrial sector. And I think I want to
9 frame that question within the context of we have so
10 much money that is being put in by the federal
11 government right now into broad economic development and
12 industrial development in the nation. Are we capturing
13 those potential impacts? Are we planning for those
14 potential impacts like a single battery plant could have
15 a significant load and I just wanted to understand what
16 is the roadmap. Maybe if we don't have it, we can defer
17 the question on incorporating the decarbonization
18 impacts of industrial sector into the forecast.

19 MS. JAVANBAKHT: So similar to the ag sector,
20 the fuel substitution tool for industrial is also under
21 development. There's a few other things that we're
22 tracking and hoping to incorporate into the industrial
23 models going forward. One important one being all the
24 changes that are happening at refineries and that we
25 anticipate to continue happening at refineries as the

1 need for gasoline and diesel declines as we electrify
2 transportation. How does their electricity and gas
3 needs, how do their consumption change

4 MR. KAVALEC: Vice Chair, let me add to that.
5 I don't know what's happened since I left, but what we
6 really have always needed is a large scale industrial
7 survey that looks at all their equipment, looks at their
8 motors, especially that they use and trends and develops
9 trends in that regard. But it's very difficult to do.
10 They don't want to do it and the utilities don't want to
11 bother their big industrial customers because they're so
12 important to them. So it's hard making progress. I don't
13 know, maybe the landscape has changed a little bit, but
14 the ideal would be a nice big industrial survey - energy
15 survey.

16 VICE CHAIR GUNDA: Heidi, anything you wanted
17 to add?

18 MS. JAVANBAKHT: Yeah, I was going to add that
19 that would be incredibly useful, but I think also very
20 complex just because the industrial sector - it's just
21 such a diverse set of industries with really unique
22 equipment. So to have that sort of survey would really
23 require a lot of time and money to conduct, but it would
24 be extremely valuable.

25 VICE CHAIR GUNDA: Yeah, Heidi, then I just

1 want to recommend a couple of things here both for ag
2 and industrial. First of all, I think on the industry I
3 just want to recognize Commissioner McAllister and
4 Commissioner Monahan who are kind of leading some of the
5 decarbonization policy work for the industrial sector. I
6 think, at a minimum, as we have more industries given
7 the given, I am guessing most of them do plan their
8 demand charges. They understand their forecast for
9 specifically the energy bills and stuff. I think it
10 might be helpful to potentially pull together a working
11 group or kind of a round table, which is some industry
12 to have a deep dive conversation on how to better embed
13 similar to what you're trying to do on the ag side. And
14 I recognize that you're planning to do that working
15 group as well or some sort of round table.

16 I would really like us to put something on the
17 table at least as a preliminary scope of what support
18 the staff needs to move this conversation forward in the
19 upcoming months so we can really think through. So I
20 just want to point out, as we think about let's say an
21 offshore wind industry in California, that is a
22 humongous entity in terms of if the turbine blades were
23 to be made in California or so it just has a huge
24 implication similar to the Lithium Valley, the
25 extraction of lithium from there and potential in a

1 battery manufacturing. So I think it's really important.
2 I think we're at the cusp of having pretty big errors in
3 industrial sector and I think on the ag sector, the
4 alternate place, which is a lot of the ag community, I
5 think we discussed this before, do not necessarily have
6 the means to understand what this means for them for
7 planning.

8 So I appreciate everything you're doing in
9 leading this work, so I just want to put that on the
10 record for us to really move the conversation forward in
11 the next IEPR cycle.

12 MS. JAVANBAKHT: Yeah, sounds good.

13 VICE CHAIR GUNDA: Thank you. And Chris,
14 thanks again. Super nice to see you on the screen.
15 Welcome back.

16 MR. KAVALEC: Thank you.

17 I want to just see if anybody, any other
18 Commissioners have any questions?

19 Okay, I don't see any. There are some really
20 good questions in the Q and A. If we have time I would
21 love to consider them. Thank you.

22 MS. RAITT: Yes, we do have time. This is
23 Heather.

24 So again, Jeremy, if you could just go ahead
25 and moderate those for us, that would be great.

1 MR. SMITH: Okay. All right, there we go.

2 Thank you Chris, for the presentation.

3 So we've got the first question, this is from
4 Jon Bradshaw from PG&E. We've got slide 22 already
5 pulled up. Great. So he says, looking at the managed
6 sales forecast slides like this one, I observed that the
7 planning forecast and local reliability scenarios are
8 fairly similar in the California energy demand 2023.
9 What does the CEC think this result suggests about
10 forecast uncertainty? For example, did uncertainty
11 decrease relative to the California energy demand update
12 2022, which had a larger difference between the planning
13 forecast and the local reliability scenario?

14 MR. KAVALEC: Great question. I would maybe
15 ask that Ingrid, if you're still here, you might weigh
16 in on the uncertainty or someone from the efficiency
17 folks.

18 MS. NEUMANN: Sure. This is Ingrid.

19 I mean we included the CARB's SIP strategy
20 first in 2022 in the local reliability scenario. It had
21 just been adopted then. We learned more about that and
22 worked with CARB since then and have included it in both
23 the planning and the local reliability scenarios because
24 that rulemaking process has started and we will continue
25 to revise that as that rulemaking process moves forward.

1 MS. JAVANBAKHT: And what I would add to
2 Ingrid's response is that this chart is only showing a
3 couple combinations of scenarios rather than the full
4 set. So I think there's five AAFS scenarios and six AAEE
5 scenarios. Ingrid correct me if I'm wrong on that.

6 MS. NEUMANN: That was in 2021. So this time
7 we actually have six total and the SIP strategy and
8 other zero emission standards are included in AAFS 3, 4,
9 5, and 6.

10 MS. JAVANBAKHT: So it would be the full suite
11 of scenarios that would capture uncertainty here. And so
12 the two lines being closer this year does reflect
13 perhaps a little bit less uncertainty in that we are
14 anticipating CARB's proposed zero emission space and
15 water heater measure to move forward in some form,
16 whereas last year there was more uncertainty around
17 that.

18 MS. NEUMANN: That's correct.

19 MR. SMITH: Alright, great. Thank you Ingrid
20 and Heidi.

21 Our next question is from Claire Broome. For
22 additional achievable transportation electrification,
23 does the model assume light duty vehicles only result in
24 demand for charging? How is the potential for use of the
25 vehicle battery to shift or offset residential load like

1 a vehicle to grid modeled?

2 MR. GEE: Hi, this is Quentin Gee. I'm the
3 manager of the advanced electrification analysis branch,
4 work with Heidi's group a lot. We both do the demand
5 demand work. My team includes the transportation energy
6 forecasting unit that does work on this.

7 So yeah, good question Claire. And one that we
8 hear a lot about and it's quite important. So I would
9 say for the forecast so far, the transportation
10 electrification forecast both in the baseline and in the
11 AATE 3 Scenario that is recommended for the planning
12 scenario. We not capture - we only model demand for
13 electric vehicles. We don't treat them as a potential
14 source of supply or anything else.

15 I would point out that we are going to be
16 looking at for this IEPR forecast year in the chapter or
17 in the section where we talk about the forecast, we will
18 hopefully present a scenario on what we call vehicle to
19 building, where this will not be a part of the forecast
20 set, but it will be something where we present the
21 possibility of what it could look like if people were to
22 a small segment of the population or certain segments of
23 the population were interested in using their vehicles
24 as a source of energy during times when prices are high.

25 So we can integrate - we're looking to

1 integrate the scenario in with our standard load
2 modeling work. That load modeling work is available. We
3 discussed that on the November 15th workshop on the load
4 modifiers where we discussed transportation. So we're
5 hoping to do something with that. I can't just say yet
6 where we're at, but in the long term we do hope to be
7 able to, as we have more confidence in the technology
8 and with the market adoption pathway for these
9 opportunities, that'll be able to integrate them and
10 include them in the forecast. But as of now, we don't
11 have sufficient evidence to think that they're
12 reasonably expected to occur.

13 MR. SMITH: Alright, great. Thank you,
14 Quentin.

15 Our next question is from Jerry Melcher. If we
16 could go to slide five for this one. Thank you. He says
17 on slide five, California state population projections
18 derived from the California population projection tables
19 from the Department of Finance report P4 shows a drop in
20 2030 California population projection by about 3 million
21 or 6.7 percent between the previous 201- based reports.
22 During the DAWG workshop on July 15th, it was noted that
23 due to a cyber attack at the Department of Finance, the
24 release of updated California household projections has
25 been delayed. However, at the DAWG, stated that they are

1 using 2019 household projections in their forecast.
2 Might this lower population projection have an impact on
3 future energy and electricity demand since the number of
4 households are tightly coupled to population. Thus
5 should household projection also be lowered by 6.7
6 percent.

7 MS. JAVANBAKHT: I can answer this one. Since
8 that DAWG meeting and since our August inputs and
9 assumptions workshop, the Department of Finance did
10 release updated population projections. I think they
11 released them either late August or early September. So
12 both of these data sets, the households and population
13 are coming from Department of Finance and our recent
14 data sets. So they are consistent with each other.

15 MR. KAVALEC: I want to add something to that.
16 This is Chris. One thing we agreed years ago, I don't
17 know if it was ever formalized, but to use data for our
18 demographic inputs and because they're really sort of
19 the official forecast for California, but you sometimes
20 end up with incongruities between the demographic
21 forecasts and what Moody's is forecasting. They also
22 project demographic variables and we saw that in this
23 forecast we had not much change in the economic
24 variables, but a large change in demographics that
25 Moody's is not yet showing.

1 So my point being using these two different
2 sources that aren't always consistent with each other
3 can sometimes present a problem. And that's something I
4 just wanted to put on the table for our featured
5 discussion.

6 MR. SMITH: All right, great. Thank you, Heidi
7 and Chris.

8 Our next question is from Jane Roschen from
9 Cal Advocates. Can you please explain in greater detail
10 the decrease in average annual percent growth of self-
11 generation energy from 2022 to 2023 seen in the majority
12 of planning areas?

13 MR. KAVALEC: Let's see, do we have Alex or
14 someone else from self generation? Mark?

15 MR. LONSDALE: Yeah, I'm here. Chris, I'm
16 here. Can we pull up the slide real quick because I
17 think it's easier to understand the difference with the
18 chart being presented.

19 MR. KAVALEC: That will be slide 20, I
20 believe.

21 MR. LONSDALE: Nineteen, possibly. The chart
22 that shows the average growth rate. Yeah, so something
23 to note here in the last two columns, the CED 2023
24 average annual growth rate that's referring to the
25 increases seen or observed from 2022 to forecast year

1 2040. However, if you look at the 2022 average annual
2 percent increase, that's looking over a different time
3 period. That's looking at the increases from 2021 to
4 2035. In the November 15th IEPR workshop, we presented
5 our capacity forecast results out to 2040. And what we
6 noted is there is a decrease in the rate of adoption the
7 latter half of the forecast, that is after 2034 in
8 result of the reduction in the eventual elimination of
9 the ITC tax credit, which is a 30 percent tax credit. So
10 reducing the payback period, the economics, it takes a
11 while in our modeling to see a return to similar levels
12 of PV adoption that we would've observed with the ITC
13 tax credit pre 2034. So I think that explains most of
14 the differences in the average annual percent increases
15 that are observed in this table.

16 MS. JAVANBAKHT: And Raquel, if you move to
17 the next slide, you can see that on this chart, the blue
18 line flattens out. Otherwise the rate of increases that
19 slope is a little bit higher than the previous forecast.

20 VICE CHAIR GUNDA: Alex, just a quick follow
21 up question on that one. So what's the most recent
22 historical data point we bake in to our work?

23 MR. LONSDALE: Yeah, so we bake in the
24 interconnection data. So we collect data via QFER form
25 1304 B. We process the data that's submitted in January

1 of 2023. So that captures all of calendar year 2022
2 interconnections for behind the meter solar storage.

3 VICE CHAIR GUNDA: Right. And could you just
4 remind us the forecast, I remember you presenting the
5 deviation of - or kind of the move away from only solar
6 to solar plus storage systems moving forward. Could you
7 kind of just provide a little reminder on when does that
8 shift accelerate, which kind of years is it in the 20
9 next few years or where does that take place?

10 MR. LONSDALE: That's a great question. The
11 acceleration of the amount of solar plus storage
12 actually have the slides up. Let me just quickly take a
13 glance at that, see if I can give you a clear response.

14 MR. PALMERE: One moment I can actually answer
15 that.

16 MR. LONSDALE: Thanks, Mark.

17 MR. PALMERE: Yeah, it basically is the entire
18 - like starting at the beginning of the forecast we see
19 an increase in solar plus storage pairing compared to
20 historical. And yeah, it's just reflected in the model.
21 I think a lot of it is due to the more beneficial
22 scenario for pairing just the incentive to store
23 electricity energy generated instead of selling it back
24 to the grid as well as the higher TOU rates. Also
25 incentivizing having battery storage. So there's just a

1 lot that a lot of factors coming to play also like
2 decreases in our forecast cost of a storage system, a
3 lot of factors coming into play to make solar plus
4 storage being a financially sound investment. And yeah,
5 we did, our model shows a slightly lower payback period
6 for a solar plus storage compared to solar standalone.
7 We don't have it chart for that because basically the
8 model doesn't compare them directly, so you can't really
9 make an apples to apples comparison. But looking at the
10 numbers overall, we feel confident in our model that it
11 is lower for storage. But yeah, Alex, if you do have the
12 specific chart I think that we did share, I don't know
13 if we can share it, but I think that might be helpful as
14 a visual aid as well.

15 MR. LONSDALE: I don't think we have those
16 slides available right now. I'm not sharing my screen, I
17 think sharing their screen. But in the link provided by
18 Stephanie, folks can review the DG forecast presentation
19 that Mark and I provided at that workshop. And on slide
20 18 it shows the statewide solar PV capacity additions by
21 configurations. And in that slide you'll see that the
22 amount of paired solar, the share of paired solar reach
23 is approximately 45 to 50 percent by 2030 forecast year.

24 VICE CHAIR GUNDA: Thank you Alex and Mark,
25 thank you so much. It - it's great to see everybody here

1 and just kind of picking on the answer, so thank you so
2 much.

3 MR. PALMERE: Of course. Yeah, you're welcome.

4 MR. SMITH: Yeah, and actually while we have
5 that team here already, there's a related question, so
6 maybe they can just comment on this one from Selim
7 Boutlane, what is driving the self-generation increase
8 for the next 10 years versus the 2022 forecast?

9 MR. PALMERE: I think the main two factors are
10 the higher electricity rates and a lower cost of cost
11 per watt of installation of a PV system. And yeah,
12 basically those are two factors that are very favorable
13 for higher amounts of solar adoption and that will lead
14 to a higher levels of self-generation. And yeah, I mean
15 there's been a lot of changes between this forecast and
16 the last forecast, both in how we modeled them and with
17 some factors we're modeling. Another one that's
18 important is the extension of the tax credit and as well
19 as the forecasting larger systems for Title 24
20 residential installation. We have slides related to that
21 in the presentation. Alex mentioned the same one on the
22 link to the November 15th workshop. That's the final
23 final presentation. In that list we have slides about
24 our residential Title 24 forecast sizes, some charts of
25 payback period and how it's going down and why. Yeah,

1 it's basically a number of factors that are more
2 favorable for PV adoption in this forecast compared to
3 last forecast.

4 MR. SMITH: Okay, thank you, Mark.

5 So our next question is from Sunny Zeng. We
6 could go to slide 22. Thank you.

7 Could you please explain the difference
8 between the managed sales versus baseline sales? For
9 example, are planning minus managed sales equal to new
10 sales from service planning versus customers already
11 paying rates?

12 MS. JAVANBAKHT: And I'm actually going to
13 send you to slide 15 instead of my deck. So back in my
14 deck I defined all these different terms. The baseline
15 sales is the consumption minus distributed generation
16 and then the managed sales layers on the additional
17 achievable modifiers.

18 VICE CHAIR GUNDA: So Heidi, just want to
19 extend that question. I think if Sunny is looking for
20 how do we calculate new sales, I think maybe it's kind
21 of a question. Could you indicate how they might be able
22 to do it or at least follow up?

23 MS. JAVANBAKHT: I'm not sure I follow. What
24 do you mean by new sales?

25 VICE CHAIR GUNDA: I think, for example, I

1 think the question states for example, planning minus
2 management sales sequel to new additional load, right?
3 New sales. And I think they might have a question on how
4 to think, how to estimate what's being actually added to
5 the system in terms of sales.

6 MS. JAVANBAKHT: So okay, you mean as in new
7 accounts?

8 VICE CHAIR GUNDA: Yeah, the new megawatt
9 hours, gigawatt hours.

10 MS. JAVANBAKHT: Well, we're not really
11 thinking of it in terms of number of accounts. We have
12 that information, but what we're really looking at is
13 the total sales, if that helps. And then also just to
14 clarify the labels on that chart in those labels, it's a
15 dash, it's not a minus. So when we're saying planning
16 managed sales, it's just referring to the planning
17 scenario, the managed sales corresponding to the
18 planning scenario. I don't know if that helps clarify
19 things.

20 MR. KAVALEC: Yeah. And as we discussed during
21 my presentation where it's three components, you add two
22 of 'em and you subtract, which is the AAEE. So what we
23 show difference between the managed and the baseline is
24 that net impact of those three additional achievable
25 load modifiers.

1 MR. SMITH: Okay. And our last question in the
2 Q&A is from Christian Lambert from Cal Advocates. Could
3 you provide a summary of the combined heat and power
4 assumptions for the self-generation forecast? Are there
5 assumptions around decreasing behind the meter CHP
6 capacity in the later years?

7 MR. PALMERE: Yeah, I can take that one as
8 well about self-generation. Yeah, so the assumptions are
9 basically we are holding it constant throughout the
10 forecast period. And that's due to a number of factors
11 that mainly there is a lot of uncertainty regarding
12 retirement of such facilities. So we think that probably
13 the most safe assumption would be to keep it constant
14 and not assume that there will be a decrease in capacity
15 but also not increase the capacity. And same with the
16 generation from those facilities. Obviously with older
17 facilities there is some degradation rate, but at the
18 same time in our model, since we are keeping it
19 constant, that considers the possibility that there will
20 be replacement facilities that will be generating at a
21 higher efficiency. So basically, yeah, we figured the
22 safest assumption would be to hold capacity and
23 generation constant for those facilities throughout the
24 forecast period. That's what we believe is probably the
25 most likely way to go for those types of facilities.

1 MR. SMITH: Okay. Thank you, Mark. And the
2 rest of the staff are answering the questions. And thank
3 you everyone for submitting those. I think is it back to
4 Heather.

5 MS. RAITT: Jeremy, yes. And thank you to the
6 whole team and to the contributors. Helpful discussion.
7 So with that, I think we're ready to move on to public
8 comment period.

9 And so this is an opportunity to let us know,
10 you can press the raise hand icon, looks like a high
11 five icon on Zoom to let us know that you'd like to make
12 a comment. And if you would, then we will open up your
13 line for any comments you may have. And if you're on the
14 phone, just press star nine and that will effectively
15 raise your hand.

16 So we'll give folks a moment to see if anyone
17 wants to raise their hand so far not seeing any, oh,
18 here we go. Matthew Vespa, if you would like to go
19 ahead. Yeah, sure. If you could identify any affiliation
20 you may have and spell your name for the record, that
21 would be great. Thanks.

22 MR. VESPA: Yeah, of course. Matt Vespa, M-A-
23 T-T V-E-S-P-A. I'm a senior attorney with Earth Justice.
24 Thanks for the presentation today. And I wanted to
25 elaborate a little bit on my initial question, which had

1 to do with the gas demand forecast.

2 And I guess I'll just make the observation
3 that we've been talking about the importance of gas
4 system planning for years, right? We need to manage the
5 transition, avoid unneeded investments in the gas
6 system, trended asset risks, all of that. And I think a
7 baseline ask from environmental and environmental
8 justice advocates was for the CEC to really take over
9 the gas demand forecasting and have those be the inputs
10 for gas system planning. So I'm a little concerned that
11 we still may defer to the utilities for their gas demand
12 forecast, which are currently being used to justify new
13 capital investments in the gas system. So they're using
14 right now the AAFS, the fuel substitution scenario two,
15 which we saw from the slides today is extremely
16 conservative.

17 Basically business as usual gas demand, very
18 different than scenario three, which we're using on the
19 electric side. And so I understand there's a need to be
20 somewhat conservative on some of these things, but I
21 think on the electric side, if we overstate our demand,
22 we're going to need those resources down the line. On
23 the gas side, if we overstate our demand, we are stuck
24 with these stranded assets costs we should not have
25 incurred. And so there's some balancing there I'd really

1 like to see.

2 And, first and foremost, I think just as you
3 direct electric utilities on what scenarios they should
4 be using for their planning or you really have this key
5 role in determining what is being used, I think the CEC
6 should be doing on the gas side and also be taking what
7 are reasonable assumptions, which is the scenario three.
8 And I'll put these on written comments, but since we
9 have this opportunity, I just wanted to say that
10 verbally. And thanks very much for the presentation
11 today. I appreciate all your work.

12 MS. RAITT: Thank you for that. So again, I'll
13 just put out, if anyone else wants to make verbal
14 comments, just press that hand icon, high five icon to
15 let us know that you would like to make comments. And if
16 you're on the bone press star nine. All right. We're not
17 seeing any, I'll just before we close this out, I'll
18 just take this moment to just give a couple next steps.
19 Just a reminder, written comments from today's workshop
20 are due on December 20th and we welcome those and we go
21 over those carefully. So appreciate any written comments
22 people want to submit.

23 Oh, and is Claire Broome has a comment. So go
24 ahead Claire.

25 MS. BROOME: This is Claire Broome. I

1 represent 350 Bay Area at the Public Utility Commission
2 and I've really appreciated the process both for the
3 IEPR and for SB 100.

4 The point I would like to make is for SB 100,
5 we've been discussing the opportunity to have a maximum
6 DER scenario as a way to advance the state's goals in a
7 generation and storage. And I wonder whether it is
8 possible as you look at scenarios, alternative
9 scenarios, where with the appropriate policies you could
10 expand the behind the meter generation and the behind
11 the meter storage. You are looking at demand based on
12 projections for transportation, et cetera. But another
13 role for distributed generation is to offset PV
14 installations in remote areas which require
15 transmission.

16 So I'm hoping that as you consider your demand
17 scenario, you would think holistically about what the
18 state's SB 100 goals need and not just be constrained by
19 some of the scenarios based on current policies and
20 projections. Thank you.

21 MS. RAITT: Next, does anybody else have any
22 questions? Excuse me, comments? Looks like Kurt does
23 see, or maybe just lost. Okay. Well, I'm not seeing any
24 more hands raised now.

25 So I think we can close the comment period,

1 Vice Chair, and I'll just pass it back to you.

2 VICE CHAIR GUNDA: Yeah, thank you Heather.

3 And I just wanted to recognize the comments that just
4 Matt made as well as Claire. So thank you so much for
5 those comments. I think recognize the prudence in
6 thinking through what those reasonable levels of risk
7 mitigation are to avoid stranded assets matter. I think
8 that's a really important point and I just want to
9 recognize that and look forward to your comments and
10 discussing that.

11 And Claire, the comments specifically on the
12 DER resources. I think our hope is to use the SB 100 as
13 kind of an analytical policy framing opportunity and
14 then to figure out ways to migrate some of those
15 additional assumptions on potential higher levels of
16 penetration of DER into the forecasting. So we kind of
17 try to learn both from forecasting work into how to
18 think about scenarios and scenarios, work on how to
19 think about forecasting, but really appreciate your
20 continued engagement and we'll take that as a point of
21 continued evaluation. I thank you.

22 And, in closing, just wanted to recognize the
23 staff and just a big welcome again to Chris, but also
24 just the tremendous work Heidi, you and the entire team
25 is doing. And thanks to both Jeremy, Alex, and Mark for

1 jumping in and answering a number of the questions as
2 well as Quentin. So thank you all for making this a
3 unified work - and Ingrid. All of you jumped in to help
4 answer the questions. So I look forward to comments. And
5 then for the discussions with the IOUs, and again, the
6 forecast is such an important foundational work to
7 support the state planning activities and cannot
8 underscore the importance of the work you all do and
9 look forward to moving this forward.

10 I want to make sure that I welcome
11 Commissioner Shiroma or Commissioner Houck if they have
12 any comments and then we can close. Okay, commissioner
13 Shiroma.

14 COMMISSIONER SHIROMA: Yes. I just wanted to
15 add my thank yous as well to you, Vice Chair Gunda and
16 your team there at the Energy Commission. The
17 presentations were very impressive about the questions
18 that were raised today, were also very informative. It's
19 very, very impressive and essential work. And I know
20 that we're looking at how do we get as close as we can
21 to the projections because if we don't, the consequences
22 are quite dire. So thank you so much for the workshop
23 today, very informative, educational, and I look forward
24 to hearing about the one hour modeling efforts coming up
25 in a few weeks. Thank you.

1 VICE CHAIR GUNDA: Thank you.

2 Commissioner Houck, please go ahead.

3 COMMISSIONER HOUCK: Just really quick, again,
4 also want to join and thanking the staff and everyone
5 and you Vice Chair Gunda for the workshop. It was very
6 informative and I look forward to further discussions on
7 looking at modeling, especially for looking at some of
8 those constrained areas that we're seeing and how to
9 incorporate some of our policy directives into the
10 forecasting. So thank you again.

11 VICE CHAIR GUNDA: Thank you, Commissioners
12 Houck and Shiroma. Thanks for being here with us today.
13 And thank you for all the public and stakeholders who
14 joined today and all the work that you put in to helping
15 us make the products better in supporting the welfare of
16 California at large.

17 And in closing, again, Heather, thanks to you
18 and your entire team for pulling off another workshop.
19 With that and Heather, your permission, we are
20 adjourned.

21 Thank you.

22 (OFF THE RECORD AT 3:12 P.M.)

23

24

25


- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 11th day of January, 2024.



ELISE HICKS, IAPRT
CERT**2176

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

January 10, 2024