DOCKETED	
Docket Number:	23-OPT-01
Project Title:	Fountain Wind Project
TN #:	254477
Document Title:	Notice of Joint Environmental Scoping and Informational Meering
Description:	Transcript
Filer:	Marichka Haws
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	2/15/2024 11:36:56 AM
Docketed Date:	2/15/2024

CALIFORNIA ENERGY COMMISSION
<pre>In the matter of: Fountain Wind Opt-in Application ) For Certification ) Docket No. 23-OPT-01)</pre>
NOTICE OF JOINT ENVIRONMENTAL SCOPING AND INFORMATIONAL MEETING
IN-PERSON, ONLINE BY PHONE AND VIA ZOOM
TUESDAY, NOVEMBER 28, 2023 2:00 P.M.
Reported by: Marlee Nelson

## COMMISSIONER

Noemi Gallardo, Lead Commissioner, CEC

## CEC STAFF

Drew Bohan, Executive Director

- Mona Badie, Public Advisor, Office of the Public Advisor, Energy Equity, and Tribal Affairs
- Leonidas Payne, Siting, Transmission, and Environmental Protection Division
- Eric Knight, Manager, Siting, Transmission, and Environmental Protection Division
- Hilarie Anderson, Siting, Transmission, and Environmental Protection Division

# PRESENTER

Henry Woltag, Director, Fountain Wind Project

#### EXTENDED COMMENT

Mary Rickert, District 3 Supervisor, Shasta County

Patrick Jones, Chairman, Shasta County Board of Supervisors

Paul Hellman, Director of Resource Management, Shasta County

Ryan Baron, Special Counsel, Best & Krieger

#### APPEARANCES

Matthew McOmber, Senior Deputy County Counsel, Shasta County Yatch Bamford, Chairman, Pit River Tribe Brandy McDaniels, Madesi Band Cultural Representative, Pit River Tribe Gregory Wolfin, Ilmawi Band Representative, Pit River Tribe Radley Davis, Member of Ilmawi Band, Pit River Tribe Agnes Gonzalez, Madesi Band Council Rep, Pit River Tribe Louise Davis, Member of Itsatawi Band, Pit River Tribe Awigust Afson, Member of Itsatawi Band, Pit River Tribe Russell Ellick, Representative of Atsugewi Band, Pit River Tribe Shaleesha Ward, Madesi Cultural Representative, Pit River Tribe Michelle Lee, Counsel, Pit River Tribe PUBLIC COMMENT W. David Wardall, Chairman, Associated Aerial Firefighters James Barnes, Associated Aerial Firefighters Stephen Fitch, Former Forest Supervisor, Shasta Trinity Forest Service Steve Kerns, District 2 Supervisor, Shasta County Joseph Osa, Resident, Montgomery Creek Antonio Mendoza, Vice Chairman, Pit River Tribe

APPEARANCES		
Randall Smith		
Mark Mulliner, State Building and Construction Trades Council		
John Gable, Residents of Moose Camp		
Ruben Grijalva, Consultant for ConnectGEN		
Shane Lauderdale		
Anthony Gorman, Staffer for State Senator Brian Dahle		
Tony Wilson Yiamkis		
John Messina, Consultant		
John Vona, FWS Forestry		
Matt Goody, Northeastern California Building and Construction Trades		
Beverly Wakefield		
Gary Sharete, Business Representative, Laborers Local 185		
April Branson, Laborers Local 185		
Jeannie Frazier, Laborers Local 185		
Milo Johnson		
Doyle Radford, Business Manager, Construction & General Laborers Local 185		
Joe Schykerynec, State Building & Construction Trades Council		
Pete Scales		
Rachel Hunerlach, Operating Engineers Local 3		

# APPEARANCES

Cody Freitas, Operating Engineers Local 3 Jeff Hunerlach, District Representative, Operating Engineers Gary Cadd (phonetic) Bradley McKinney, Business Representative, Laborers Local 185 Ray Thomas, District 3 Resident Andy Main Bill Walker, Former Lead Planner on Hatchet Ridge Wind Project Nancy Rader, California Wind Energy Association Beth Messick-Lattin Patrick Wallner Pete Marsh John Lammers Laura Hobbs Sharon Golden, Labor Researcher, Operating Engineers Local 3 Steve Johnson Patrick Boileau, Deputy Political Director, Operating Engineers Local 3 Maggie Osa Rachel Hatch

	INDEX	
ITEM	PAGE	
1.	Welcome and Introduction	7
2.	Opening Remarks	7
3.	Introduction to comment systems	11
4.	Housekeeping Items	11
5.	Presentation on the Opt-In Certification Process	14
6.	Presentation by the Applicant	18
7.	CEC's Ongoing Analysis of the Fountain Wind Project	38
8.	How to Participate in the Proceeding	48
9. Break 5		
10.	Welcome Back	54
11.	Extended Comments	54
12.	Public Comments	106
13.	Closing Remarks and Adjourn	185
Adjournment		186

1	PROCEDINGS
2	TUESDAY, NOVEMBER 28, 2023 2:00 p.m.
3	COMMISSIONER GALLARDO: (Speaking Spanish). Good
4	afternoon. I'm Noemi Gallardo, commissioner at the
5	California Energy Commission. I am honored to be here. I
6	wanted to start out with a very important item.
7	First, for those of you in the room, we do have
8	water outside this room here, in case you get thirsty.
9	It's available for everyone. So we're going to talk about
10	energy, but water is really important too. So I want to
11	make sure you stay hydrated, especially given all the
12	bodies in this room.
13	Second, before we get into the proceeding, we are
14	going to start with the Pledge of Allegiance. So I ask for
15	you to stand, and we should be seeing a flag. There we go,
16	up on the screen. So please join me.
17	ALL SPEAKERS: I pledge allegiance to the Flag of
18	the United States of America and to the Republic for which
19	it stands, one Nation under God, indivisible, with liberty
20	and justice for all.
21	COMMISSIONER GALLARDO: Thank you. Again, I'm
22	Commissioner Noemi Gallardo. One of my responsibilities is
23	to oversee siting proceedings, including the opt-in
24	certification process.
25	Today, we're here about the proposed Fountain

7

1 Wind Project, which is going through the opt-in 2 certification process. My major responsibility today is to 3 oversee the meeting and to listen to all of the information 4 being provided by those of you here, and we're going to 5 learn from that information. And I would like to clarify as well that we are not making any decisions today. 6 I am 7 not making a decision. No one else on Energy Commission 8 staff. We are here to listen to you and to learn from you.

9 We realize that there's a lot of interest in this 10 project, and we want to ensure that everyone here has a 11 fair chance to provide their perspective. So I ask 12 everyone to be respectful.

13 I would also like to thank the Pit River Tribe, 14 the County of Shasta, and the entire community for engaging 15 with us and for your participation in this proceeding. We 16 appreciate all of you who are joining via Zoom and who are 17 in the room. We also appreciate the over 200 written 18 comments that have been submitted by this community. 19 That's through our docket that we have. And aside from 20 conducting our own due diligence within our specialty 21 areas, we also meticulously review those written comments, 22 and we listen intently to the verbal comments provided. 23 All of it is extremely valuable for us in terms of the 24 issues that we might not otherwise know about. 25 Please also note that we are in an early phase of

> California Reporting, LLC (510) 224-4476

1 our review process for the Fountain Wind application. 2 California law lays out very specific steps that the 3 California Energy Commission must follow when an opt-in 4 application is submitted. Staff will outline in more 5 detail that process in just a bit. We also will have an opportunity for public comment later in the meeting. 6 This 7 will be a time for anyone here to provide comments that will be on the record. 8

9 And please remember that this is an information 10 gathering meeting, so the more information you can share or 11 point us to, the better we can do our job in analyzing the 12 proposal over the next several months. If you do have a 13 stance on this project, whether you support or oppose it, 14 you may state that during your comments, but there is no 15 obligation to do so either.

Again, we want to hear from all of you who wish to speak, so I ask that everyone be respectful of the time limits and each other so that we can hear everybody. We have this room until about 10:00 p.m., and we intend to stay here until we get kicked out, so that we can listen to everyone.

The CEC's -- Energy Commission's public advisor is Mona Badie. She is here raising her hand. Her job is to assist you. She will provide more information and instructions about public comment, but she can also provide

> California Reporting, LLC (510) 224-4476

you guidance about when to speak, what information we need -- if you want to submit written comments, she can help you through that process as well. So please do not be shy to reach out to her and ask her for assistance.

5 I would also like you to meet Elizabeth Huber, 6 who is on my left side. She's the director of the Siting 7 Division, the division who's in charge of this process. So 8 Elizabeth is also extremely helpful. She's here to answer 9 questions if you would like, and she may also step into the 10 meeting as needed.

11 Finally, I would like to note that this is the 12 first public meeting for the proposed Fountain Wind 13 Project. We will have at least two more. And I would like 14 to encourage everyone to continue following this 15 proceeding. I look forward to hearing from you today and 16 as this process continues. And on behalf of the Energy 17 Commission as a whole, the staff who have been diligently 18 working on this application, we want to thank you for being 19 here, for being so enthusiastic, for sharing with us all of 20 the insight that you have.

And then finally, I did want to introduce Drew Bohan, who is here. He's our executive director at the California Energy Commission. He is also here -- available if needed.

25

So let me transfer this over to our staff. Thank

you again for listening to me, and we will be here. 1 2 Go ahead. 3 MS. BADIE: Good afternoon, everyone. This is 4 Mona Badie, the public advisor for the California Energy 5 Commission. I just wanted to introduce our comment systems. So you might have seen blue cards floating around 6 7 the room, and we'll have staff handing them out, and pens 8 available. There'll be some presentations from staff and 9 also the applicant, and I'll come on the line again and provide instructions another time. But we were hoping that 10 11 folks could fill out the blue cards, who want to make a 12 public comment, and turn them in -- Sierra from my office. 13 She has a gray cardigan on. You can also turn it in to me 14 or at the end of this table, so we can compile the cards 15 and estimate time periods for public comment. 16 We also have an extended comment period for 17 Shasta County, tribal leadership, and some other folks. 18 And so if you could mark on your card for extended 19 comments, that will help us as well. So, yeah, the sooner 20 you can fill it out and give us those cards, that'll help 21 us a lot. And I will turn it over to Lon. 22 MR. PAYNE: Good afternoon, everyone. I'm Lon 23 Payne with the Energy Commission's Siting, Transmission, 24 and Environmental Protection Division, which will probably 25 the hardest thing I have to say all day because it's a

> California Reporting, LLC (510) 224-4476

1 mouthful. We also call it STEP. So if I use that, I mean 2 the entire division. 3 Welcome to today's informal - informational and 4 scoping meeting for the Fountain Wind Project. There will 5 be time for public comments following the presentations in this first session. 6 7 Before we continue, I'm going to go over a few 8 housekeeping items. First, this meeting is a hybrid 9 meeting with attendees in person at the Gaia Hotel, Himalaya Ballroom here in Anderson, California, and 10 11 virtually participating via Zoom. The meeting is being 12 recorded. The meeting recording will be available on the 13 Energy Commission's website. 14 Please note that to make the Energy Commission's 15 meetings more accessible, Zoom's closed captioning has been 16 enabled. Attendees can use this service by clicking on the 17 "live transcript" icon and then choosing either "show subtitle" or "view full transcript." The closed captioning 18 19 service can be stopped by exiting out of the live 20 transcript or selecting the "hide subtitle" icon. 21 So next slide, please. 22 Attendees, to use close captioning, click on "live transcript," select "show subtitle" or "view full 23 24 transcript." To stop, close out or click "hide subtitle." 25 I think that's probably the same thing, but that's on the

> California Reporting, LLC (510) 224-4476

script, so I'm saying it. 1 2 Information about today's workshop can be found 3 here at the website, which is the Fountain Wind website, 4 which I do not see on the screen currently, but we will 5 hopefully be able to correct that in --UNIDENTIFIED SPEAKER: It's in the -- it's in the 6 7 chat for online attendees. MR. PAYNE: Great, thank you so much. 8 9 Next slide, please. Actually, previous slide, 10 because we're at the workshop agenda. 11 So today's workshop will include a general 12 presentation on the opt-in certification process from 13 STEP's Eric Knight, a presentation by the applicant on the project as currently proposed, including information on 14 15 project features, which address mandatory requirements of 16 the opt-in licensing process -- a presentation from the CEC 17 project manager, which is me, on our ongoing analysis of 18 the project, including topic areas already identified, 19 which may involve significant environmental effects and 20 staff's requests for scoping input, and a presentation on 21 public participation opportunities by the CEC's public 22 advisor. 23 There will be an opportunity I, again, stress --24 an opportunity for public comment later in the program. I 25 will now turn the mic over to Eric Knight for his

> California Reporting, LLC (510) 224-4476

1 presentation on AB 205 and opt-in. 2 MR. KNIGHT: Thank you, Lon. 3 Could I get next slide, please? Thanks. 4 Good afternoon, everybody. My name is Eric 5 Knight. I am the manager of the Siting and Environmental Branch at the California Energy Commission. As Lon said, 6 7 I'm going to give a brief presentation on the opt-in 8 process. 9 Next slide, please. So Assembly Bill 205 signed by Governor Newsom on 10 11 June 30, 2022, established this new optional certification 12 program at the CEC for certain clean energy projects. This 13 opt-in certification program is the first significant 14 change to the CEC's licensing authority in over 45 years 15 and will be in effect through June 30th of 2029. 16 Next slide, please. 17 The intent behind the opt-in program is to 18 provide an optional and streamline permitting pathway for 19 certain clean energy generation, energy storage, and 20 related facilities to help in California's transition to a 21 clean energy future. Process provides for early tribal 22 consultation, robust public input, and rigorous 23 environmental review. 24 In adopting AB 205, the legislature intended for 25 California Native American tribes, local governments,

> California Reporting, LLC (510) 224-4476

1 communities, and workers to reap the benefits of clean 2 energy development. 3 Next slide, please. 4 So prior to the signing of AB 205, the CEC's 5 permitting authority was limited to thermal power plants 50 megawatts or larger. AB 205 expands the type of facilities 6 7 that can be certified by the CEC to those that are listed on the slide there. In addition, thermal power plants 8 9 already jurisdictional to the CEC may use this process -so they don't use fossil fuel to generate electricity. 10 At 205 megawatts, the Fountain Wind Project is a facility 11 12 eligible to opt in to the Commission's certification 13 program. 14 Next slide, please. 15 The issuance of a certificate or license by the 16 CEC is in lieu of any permit that would normally be 17 required by a local land use authority. Some state 18 agencies retain their permitting authority under this 19 So for Fountain Wind, this includes the Regional program. 20 Water Quality Control Boards or Board (indiscernible 21 00:11:52). 22 AB 205 require the CEC to develop coordination 23 plans with the California Department of Fish and Wildlife, 24 the water boards, and the Department of Toxic Substances 25 Control. These plans establish frameworks for interagency

> California Reporting, LLC (510) 224-4476

1 consultation during the opt-in process to ensure each 2 agency's input is considered in the development of the 3 environmental impact report and reflected in any 4 certification.

Next slide, please.

6 So there are three base -- three main phases in 7 the opt-in process.

8 So phase one is pre-filing. So there's a 9 mandatory pre-filing meeting that must occur for any 10 application submitted to the CEC under this program, and it 11 must occur at least 30 days in advance of the filing. 12 Phase two is the completeness review of the application 13 itself, and the CEC has 30 days in which the -- to 14 determine if an application is complete. And the -- phase 15 three is the environmental review and decision phase. This 16 is after an application has been deemed complete. And the 17 statute specifies that the CEC has 270 days to complete its 18 assessment and reach a decision on whether to certify the 19 project. There are some identified circumstances if they 20 occur -- should they occur that the decision could be made 21 after that date. Let's see -- and with the executive 22 director's determination on October 30th of 2023, the 23 Fountain Wind application was deemed -- when it was deemed 24 to be complete, this proceedings entered -- has entered 25 into that third phase.

> California Reporting, LLC (510) 224-4476

16

17

1

Next slide, please.

2 So this slide shows the 270-day process, how it 3 breaks down -- the statute -- I already said this -- excuse 4 The statute identifies certain circumstances should me. 5 they occur whereby the CEC would not be held to that -- to 6 this 270-day timeline. The agencies that retain their 7 permitting authority are required to make their permitting decisions within 90 days of the CEC's decision to certify a 8 9 project should that occur.

10 I would like to highlight that there's a mandatory 60-day public comment period on the draft EIR, 11 12 and there will be at least one public meeting in the 13 project area to take public comment on the EIR. So for 14 Fountain Wind, the draft EIR is anticipated to be published 15 by the end of March 2024. And the final EIR will be 16 available at least 30 days prior to the public meeting at 17 which the CEC will make its decision. And this meeting 18 will occur in Sacramento. And the final EIR for Fountain 19 Wind is anticipated towards the end of June of next year 20 with a decision then at the end of July.

21

Next slide, please.

To approve an opt-in project, the CEC must find that the project will provide overall net economic benefit to the local government and that the applicant has entered into a community benefits agreement, and the applicant has

certified payment of prevailing wage or equivalent for all
 construction and the use of a skilled and trained workforce
 or equivalent for all construction.

4 The CEC must also find that the project will 5 comply with all applicable laws, ordinances, regulations 6 and standards. We use an acronym for that, LORS. You're 7 going to hear that a lot. If a project will not comply with any applicable LORS, the CEC must find that the 8 9 project is required for public convenience and necessity, 10 as that term is defined in the statute, and that there are 11 not more prudent and feasible means of achieving that 12 public convenience and necessity.

And then finally, for any project found to have a significant and unavoidable impact on the environment, the CEC will need to adopt a statement of overriding considerations that identifies how the project's benefits will outweigh any unavoidable impact.

18 Next slide. I think that's the end. Yeah.19 Thank you.

20 So that concludes my presentation. So, now, 21 we'll be turning over this to the applicant so they can 22 present on their project.

Excuse me. Henry Woltag, your turn. Yeah.
 MR. WOLTAG: All right. Good afternoon, CEC
 Commissioner, staff, and members of the public. My name is

California Reporting, LLC (510) 224-4476

Henry Woltag, and I am the director of the Fountain Wind
 Project for ConnectGEN, and I appreciate the opportunity to
 speak with you today.

4 We at ConnectGEN also appreciate the Commission's 5 review of this project under the CEC's opt-in permitting 6 The fact that we are here today is a testament to pathway. 7 the State of California's commitment to combating climate 8 change, and we commend both the California legislature and 9 Governor Newsom for taking the bold action that is needed 10 to fight climate change, improve air quality, conserve 11 precious water resource, and transition to renewable energy 12 with the passage of AB 205.

This project has been under development for over 14 10 years and has once before completed a CEQA review. It 15 is important to understand that over all the years of 16 assessment and many hours of public engagement and public 17 feedback, that this project has continuously been refined 18 for the better and will translate to tremendous benefits to 19 Shasta County and the State of California.

20

Next slide, please.

This presentation will focus on the following key points critical to understanding the need and the benefits of this project. First, we will establish the link between the need for this project and the state's obligation under Senate Bill 100. We will also detail the extensive siting

> California Reporting, LLC (510) 224-4476

1 work to avoid, minimize, or mitigate potential impacts, 2 while also providing further clarification about how the 3 project will actually result in improved fire safety for 4 the area. We will explain the benefits to the local 5 economy and ConnectGEN's commitment to community benefits. And finally, through this presentation, we'll demonstrate 6 7 that the project meets the requirements of AB 205 and how it is required for both public convenience and necessity. 8

9

Next slide, please.

I've been asked many times, why is this project so important and why here in Shasta County? The answer to this question is multifaceted.

13 First, there are no projects like this left in 14 the State of California. For a number of reasons, the development of new onshore wind in the State of California 15 16 has come to a standstill, and there are simply little to no sites advancing through development. Fountain Wind, being 17 18 one of the few remaining wind projects, is a well-studied 19 project and a well-sited one. This project sits at the 20 confluence of three things that are critical to having a 21 viable wind project. Number one, a strong commercially 22 viable wind resource. Number two, access to an existing 23 transmission system that has sufficient capacity to deliver 24 additional energy to the grid. And number three, a 25 compatible land use, such as commercial timber operations.

Well-sited projects like Fountain Wind are critically needed in order for California to meet its carbon reduction goals. The State of California needs an extraordinary amount of clean energy to meet those goals that are laid out in SB 100. And these goals are not aspirational. They are state law. The need for this project is abundantly clear.

8

Next slide, please.

9 The project itself is located approximately 35 10 miles northwest of Redding, six miles west of Burney, and 11 immediately adjacent to the 43 turbine Hatchet Ridge 12 project located in the top right corner of this map, which 13 was built in 2010.

The project is sited on approximately 16,000 acres of privately owned and actively managed commercial timberlands. And as you can see in this map, about twothirds of the project area is located in densely planted monoculture timberlands, and one-third of the project area occurs within an actively harvested pine plantation.

The project area is entirely south of Highway 21 299, and the project is bisected by the existing PG and E 22 230 KV transmission line that runs from the Pit Number 1 23 dam to the Cottonwood substation.

Lastly, the project is named after the historic roadside water fountain used by travelers decades ago and

located off of Highway 299, a few miles west of the project 1 2 area. 3 Next slide, please. 4 The project components consist of up to 48 5 turbine locations with a maximum height of 610 feet each, up to 19 miles of improved existing roads and 19 miles of 6 7 new access roads, up to 39 miles of underground collector cables and up to six miles of overhead collectors, a single 8 9 project substation and interconnection switchyard to 10 facilitate connection with the electrical grid, a single 11 operations and maintenance building, and, importantly, the 12 project will not require any new high voltage transmission 13 lines. 14 Ultimately, up to 548 acres of commercial 15 timberlands will be temporarily disturbed during 16 construction, and there will be 510 acres of permanent 17 disturbance once construction is completed. 18 Next slide, please. 19 Turning to project need, as I mentioned, climate 20 change is already affecting the state, and urgent action is 21 required to stave off the worst of these impacts. 22 According to California's fourth climate change assessment, 23 by the year 2100, if we don't take immediate action, 24 studies have concluded that frequency of extreme wildfires 25 will increase, and the average area burned statewide would

also increase by 77-percent. Scientific experts agree that 1 2 without bold action related to climate change, climate-3 related disasters will occur with increasing frequency and greater devastation. The state's policies to vastly 4 5 increase renewable energy and drastically reduce carbon emissions will not only help temper the effects of climate 6 7 change globally, but will also directly improve the health of all Californians. 8

9

Next slide, please.

I mentioned previously that California has specific and urgent renewable energy targets, and the legislature recognize the need to meet these targets with the passage of AB 205, but it's worth noting exactly what those targets are and our progress in reaching those targets.

16 California has a long track record of being a 17 world leader in its commitment to fighting climate change 18 through a state renewable portfolio standard or RPS. SB 19 100, which was signed into law in 2018, built upon 20 California's renewable energy leadership by establishing 21 bold new RPS targets, and the law requires 100-percent of 22 all retail electricity sold in California to come from 23 renewable and zero carbon resources by 2045. 24 The law also advanced interim RPS goals, 25 including 44-percent by 2024, 52-percent by 2027, which is

1 the year this project would have the potential to come 2 online, and 60-percent by the year 2030.

Next slide, please.

4 So where are we in meeting these targets? These 5 targets are ambitious but feasible with true commitment and 6 This Commission, in partnership with the CPUC and action. 7 California Air Resources Board, produced the 2021 SB 100 joint agency report titled Achieving 100-percent Clean 8 9 Electricity in California. In that report, it is concluded 10 California will need to roughly triple its current 11 electricity power capacity, and the state will need to 12 procure an additional projected 148,000 megawatts of new 13 clean energy to the grid, which is the equivalent of 740 14 Fountain Wind projects.

15 This table from the report shows that wind's 16 contributions will need to double from current productions. 17 And while some of this may end up coming from out of state, 18 there will never be enough transmission built to import it 19 all, and new transmission projects take over 10 years to 20 complete if they can get approved. The state must look inwards at resources to meet most of this demand. 21 The 22 requirements under SB 100 highlight the need for AB 205 and for the CEC to make decisions at the state level for the 23 24 benefit of all of the residents of California. The 25 benefits of transitioning to renewable energy are clear.

> California Reporting, LLC (510) 224-4476

24

It will improve public health while also supporting the 1 2 state's clean energy economy. 3 Next slide, please. 4 One of the many benefits of Fountain Wind isn't 5 just the total energy production that it'll put on the 6 grid. It's the time of day that that energy is put on the 7 grid. Power from this project will not only help California meet its clean energy goals, it will also help 8 9 balance the electric system by providing important energy 10 production during the hours when there isn't any solar on 11 the system. This slide here illustrates what we all know 12 13 about solar, that it only produces when the sun is up, and 14 the challenge is what to do with the other hours of the day 15 when we still need clean energy. This top line shows the 16 hours the Fountain Wind Project will produce power. The 17 resource in this location is robust and produces during the 18 hours of most need. While energy storage is starting to 19 shift some of the solar profile to the evenings, it will 20 never be able to fill the gap needed when solar is not 21 producing and certainly not at a price that is viable. 22 Therefore, this project is essential to meeting our 23 immediate needs for evening and overnight renewable energy. 24 Next slide, please. 25 Fountain Wind has extensively studied the site

> California Reporting, LLC (510) 224-4476

and the surrounding area since 2017, completing all studies 1 2 required by and to the standards of Shasta County and state 3 and federal agencies. This included over 40 field 4 investigations, technical studies, and environmental 5 assessments performed by subject matter experts familiar with the resources and the environmental issues associated 6 7 with the site. This effort included multiple years of bird 8 and bat surveys, habitat and rare species surveys, visual 9 impact studies, and a complete archeological field survey. More recently, we have updated and supplemented studies to 10 11 meet the requirements of the CEC. Prior to submitting a 12 complete application, we performed additional supplemental 13 studies, including additional cultural resource literature 14 and data reviews, specifically prepared for the CEC 15 application.

16 I would like to take a moment here to clarify 17 some information that was presented in the notice of 18 preparation that was issued by the CEC earlier this month. 19 We believe that the NOP contain some information that may 20 be misinterpreted without the context of the cumulative 21 datasets and reports presented in the application. 22 Specifically, the NOP indicated that at least 20 discrete 23 tribal cultural resources are in the proposed project site 24 or within its viewshed, and we wanted to clarify that after 25 our extensive studies, we identified one discrete tribal

> California Reporting, LLC (510) 224-4476

cultural resource within our project area, and the site
 will be avoided by the project.

3 The NOP also indicates that Hatchet Ridge Bunchgrass Mountain, a sensitive tribal cultural resource, 4 5 is located in the project footprint. To clarify, no parts of the project would be located in Hatchet Ridge Bunchgrass 6 7 Mountain area. Hatchet Ridge Bunchgrass Mountain is located north of Highway 299, and the entirety of the 8 9 project is south of Highway 299. While we continue to 10 recognize concerns with impacts to tribal cultural 11 resources, we also welcome the opportunity to work with the 12 Pit River Tribe and the CEC on how we can avoid, minimize, 13 or mitigate impacts to additional sensitivities if they are identified through the CEC process. We acknowledge that 14 15 there are likely to be significant and unavoidable indirect 16 impacts on tribal cultural resources, and we stand ready to 17 continue to engage with the tribe to address these issues 18 to the extent possible.

The NOP also indicates that staff's preliminary assessment indicates that the project would have significant impacts and potentially have unmitigable impacts on wildfire and also that the project would introduce significant limitations on aerial firefighting abilities to aid in controlling and reducing the intensity of wildfires in the project area due to spacing and height

1 of the proposed remote turbines. Fire risk is an important 2 issue to both us and the local communities, and that's why 3 we've consulted the experts in fire risk prevention and 4 mitigation, and I'll talk about that on the following 5 slides, and you'll hear from the fire experts here later 6 today. While we agree that there is risk, we encourage the 7 CEC and the public to consider the beneficial and broader cumulative effects that the project presents, which we'll 8 9 talk about shortly.

10

Next slide, please.

11 Over the last four years, the ConnectGEN team has 12 performed extensive community outreach. This stakeholder 13 engagement is a critical part of our development process, 14 and we have endeavored to meet and listen to as many 15 individuals as would share their thoughts with us. I 16 personally have had countless one-on-one meetings with many 17 small -- with many individuals and many small groups over 18 the years.

Our outreach has also included project open-house meetings at the Round Mountain Community Center as well as live online webinars. We've also conducted multiple site visits with a range of stakeholders. And on top of all these meetings, we have also sent information to thousands of Shasta County households, all in an effort to improve the public's education on the project and to make sure

1 questions are being answered. Through this engagement and 2 education, there have been hundreds of messages and letters 3 of support that were submitted to the county, and we 4 continue to see that support on the record on the CEC's 5 docket. We have been open and transparent in our communication efforts from the start, and we remain 6 7 committed to the same level of coordination throughout the life of the project if it is ultimately approved. 8

9

Next slide, please.

Since the project conditional use permit 10 11 application was initially submitted to Shasta County in 12 2016, this project has gone through tremendous amount of 13 refinements and improvements. Some of you may not know, 14 but in 2016, this project was originally proposed as up to 15 100 turbines and over 300 megawatts. Based on public 16 feedback received during the January 2019 public scoping meeting, the project was reduced to 72 turbines for the 17 18 purpose of the Shasta County environmental impact report 19 and environmental assessment. As the EIR process 20 progressed ConnectGEN continued to listen to the community 21 and reduce both the size of the project and the number of turbines yet again. The multiple project refinements that 22 23 were made were as a response to the direct public feedback 24 that was received during the Planning Commission hearing of 25 June 2021. We knew that in order to make this project a

better fit for the community, we had to address concerns with specific turbine locations and reduce the project footprint.

4 To summarize those refinements, we eliminated a 5 total of 28 turbines, indicated here in the map in red, including seven of the higher elevation turbines north of 6 7 Highway 299, closest to Hatchet Ridge and Bunchgrass Mountain, and five of the turbines closest to Moose Camp 8 and other inholding landowners. Twelve additional turbines 9 10 were removed from the south side of Highway 299. These 11 included the turbines closest to Highway 299, as well as 12 those on the west and south edge of the project, which were 13 the most visible from Round Mountain and Montgomery Creek 14 and the closest to Snow Mountain. These changes resulted 15 in a more compact project that was in direct response to 16 community feedback. These are the same 48 turbine 17 locations that the CEC is now reviewing as part of our 18 project on a de novo basis as part of this opt-in process.

19

Next slide, please.

20 ConnectGEN's commitment to resource protection 21 involves more than just the project design changes that 22 resulted in a smaller footprint with less disturbance. 23 Rather, the project has adopted various mitigation 24 measures, resource protection plans, and monitoring 25 commitments. And these result in on-the-ground avoidance,

1 minimization, and mitigation during construction and 2 operations. Many of these commitments were identified by 3 technical experts, agencies, environmental groups, and 4 Shasta County during the previous CEQA process. As a 5 result of this process, the county identified more than 130 conditions of approval and mitigation measures which the 6 7 project agreed to abide by. We have also committed to an 8 applicant proposed set of mitigation measures, which 9 specifically address some concerns that the environmental 10 stakeholders brought to our attention regarding avian 11 protection and post-construction monitoring and reporting. 12 The results of the CEC process may identify new or 13 different mitigation measures or conditions. Regardless, 14 we agreed to the more than 130 conditions and mitigation 15 measures the first time around, and we remain committed to 16 protecting sensitive resources through avoidance, 17 minimization, and mitigation.

18

Next slide, please.

A few examples of important resource protection efforts include the development of a fire prevention plan that will require construction work stoppages during higher risk fire conditions as well as operational coordination with Cal Fire. ConnectGEN also has continued to follow the U.S. Fish and Wildlife Wind Energy guidelines in project development and would continue to do so during construction

1 and operations.

2 Several other key commitments include worker 3 awareness trainings, which will be required for all 4 construction personnel who step foot on the site. And this 5 project will also perform wildlife post-construction mortality monitoring, including three years of rigorous 6 7 monitoring and additional incidental monitoring for the life of the project. And we will report that information 8 9 to agencies as well as local environmental groups. 10 Additionally, the project has minimized the number of 11 wetland and stream crossings through micrositing and will 12 further protect these resources through construction 13 protection buffers.

14

Next slide, please.

15 As mentioned previously, the project provides 16 important operational benefits to improve air quality 17 through emissions reductions. However, the project will 18 also construct or implement construction-related measures 19 such as fugitive dust controls and idling restrictions 20 during construction to minimize temporary impacts to air 21 quality. The 19 miles of existing roads will be upgraded 22 for improved egress and ingress, and traffic management 23 procedures such as flagging and signage will be used to 24 limit impacts to local traffic patterns on Highway 299. 25 While the site will remain in active timber

operations, we are committed to working with the landowner to give community access to the surrounding timberland for recreation and traditional use. And, importantly, reclamation and decommissioning commitments will include financial securities to ensure the project site will be restored to a pre-project condition at the end of its useful life.

8

Next slide, please.

With respect to wildfire risk, the bottom line is 9 that this project will enhance fire protection in and 10 around the project area. During the Shasta County review 11 12 process, Cal Fire applied their expertise and recommended a 13 wide range of mitigation measures and conditions of 14 approval, things like additional shaded fuel breaks and 15 helicopter dip tanks. And ConnectGEN has carried these 16 forward into its application to the CEC, and we remain 17 committed to enacting these conditions. These measures 18 will not only result in a safe project, but a project that 19 will enhance fire protection and firefighting capabilities 20 in the area within and surrounding the project. Key 21 protection features include approximately 687 acres of new 22 shaded fuel breaks along the project access roads, which 23 you can see on this map highlighted in yellow. 24 Additionally, state-of-the-art fire detection and 25 suppression systems will be installed in each of the wind

> California Reporting, LLC (510) 224-4476

turbines. There will also be a network of 38 miles of improved all-weather access roads, which will enhance access for ground-based firefighting resources and improve egress routes for inholding landowners. An additional fire suppression water sources consisting of 5,000 gallon water tanks will also be installed and maintained throughout the property.

8 Simply put, we believe Cal Fire when they stated 9 in the Shasta County staff report that the presence of 10 turbines would not result in the creation of a no-fly zone. 11 We've also listened to the fire mitigation experts, experts 12 who were with Cal Fire for decades and who have boots on 13 the ground experience fighting wildfires, including the 14 Fountain Fire. We believe them when they say that the 15 project will be a net benefit to fire protection and 16 firefighting capabilities in and around the project. You 17 know, for those of you who are worried about wildfire, this 18 project is part of the solution, not part of the problem.

19

Next slide, please.

However, we do continue to hear concern about wildfire associated with this area. We acknowledge that this is a high risk area that requires special consideration to understand fire risk, fire prevention, and fire protection. And that recognition -- as I've mentioned, we've gone out and sought the advice and

expertise of technical experts that have direct experience 1 2 in order to assess these issues. Combined, these experts 3 here on the screen have almost 150 years of firefighting 4 experience, including over six decades of Cal Fire 5 experience. Of note, they have been directly involved in the response to the 1992 Fountain Fire, they've led the 6 7 incident response to the 2018 Camp Fire, and they have decades of experience coordinating aerial firefighting 8 9 responses. These experts are providing direct support in 10 assessing risk, modeling the efficacy of fire protection 11 measures, and they will help us develop a cumulative fire 12 protection plan with the help of Cal Fire's 13 recommendations. The information that we've gleaned with 14 the help of these individuals have helped us, ConnectGEN, 15 to understand the impacts which we believe can be addressed 16 in a way that improves fire safety for the area. 17 Next slide, please. 18 This project represents a \$350 million 19 investment, which will be the largest investment in Shasta 20 County since the construction of the Shasta Dam in 1945. 21 With this level of investment comes significant economic 22 development and job creation. Perhaps the most significant 23 benefit is the over \$50 million in property tax revenues 24 that will be paid to the county over the life of the 25 project.

Property tax isn't the only revenue that the county would receive from the project. During construction, it is estimated that the project will pay over three-and-a-half million dollars in sales tax revenues. And since the project is in an unincorporated part of Shasta County, the sales tax would go directly to the county's general fund.

8 Over the two-year construction process, there 9 would be up to 200 well-paying union construction jobs 10 during peak construction. And I say "union" because we 11 have signed agreements with the State Building Trades to 12 ensure that these will include Shasta County union workers 13 working on a Shasta County project.

Finally, during the 30 plus years of project operations, there will be up to 10 full-time employees working at the site day in and day out. These will be well-paying jobs with average annual compensation over \$125,000 per year. And these individuals will not only be working at the site, but they will be Shasta County residents, neighbors, and active community members.

In addition to these direct benefits, there will be a host of induced benefits to the economy and local businesses of Shasta County. Some of the businesses that will benefit include logging operations, material suppliers, local quarries, heavy equipment rentals, gas

> California Reporting, LLC (510) 224-4476

1 stations, hotels, and restaurants, along with many others. 2 For this and other reasons, the Shasta County 3 Planning staff recommended the original project application 4 be approved via a statement of overriding considerations. 5 Next slide, please. On top of the jobs, tax revenues, and fire safety 6 7 benefits, Fountain Wind is committed to contributing \$2.8 8 million to community-based organizations. From the 9 beginning, we have been transparent in saying that we want 10 to bring as much benefit to Shasta County and to the 11 communities surrounding the project as possible, and we 12 plan on solidifying that commitment. 13 Prior to the requirement outlined in AB 205, 14 ConnectGEN spent multiple years engaging the community, 15 learning about local issues, and crafting a program to 16 address local needs. ConnectGEN is proud to support the 17 residents of Shasta County, and our goal is to focus this 18 funding for the benefit of the citizens of Round Mountain, 19 Montgomery Creek, and Burney. 20 We are currently finalizing binding agreements 21 with multiple community-based organizations, and we look 22 forward to providing more information on the docket and our 23 project website once those agreements have been finalized. 24 Next slide, please. 25 Taking all of the factors under consideration,

> California Reporting, LLC (510) 224-4476

including the fact that California needs a tremendous amount of renewable energy from a diverse set of resources, and the project will harness a proven overnight wind resource, we believe the project is absolutely required for public convenience and necessity.

We also believe that there are no other more 6 7 prudent and feasible means of achieving these goals. Other 8 types of generation, like additional fossil fuels, are not 9 feasible given the state's mandate, and other forms of 10 renewable energy, like geothermal and more solar, are not 11 prudent. The state needs a diverse set of clean energy. 12 Additionally, other projects require significant 13 transmission upgrades, whereas this project uses otherwise 14 stranded existing capacity. Simply put, there are no other 15 sites in Shasta County or the State of California even that have the same favorable attributes of those of Fountain 16 17 Wind.

18 With that, I conclude my presentation, and I19 thank you for your time.

20 MR. PAYNE: Thanks, Henry. This is Lon Payne,21 CEC project manager.

And, Jack, if you could pull up my presentation.Thanks so much.

Again, thanks Henry for that presentation on the revised project.

> California Reporting, LLC (510) 224-4476

Thanks, Eric, for that general grounding in how 1 2 opt-in works. 3 My presentation will delve into CEC's ongoing 4 analysis of the Fountain Wind Project. A couple points I 5 would like to make at the onset. First, although we are -- we were engaged in a 6 7 data completeness review effort from early January until the end of October, nine-something months, our actual 8 9 analysis work is still in the very early stages. That's 10 why we're here engaged in project scoping efforts. We're 11 looking for feedback on what our analysis should include. 12 Second, I would like everyone to remember that 13 this is an accelerated analysis with the expectation that a 14 draft environmental analysis document will be produced in 15 approximately five months. Those of you who are familiar 16 with CEQA will understand the challenge that entails. Anyway, let's jump right into it. 17 18 Next slide, please, Jack. 19 So what you see on the slide is a little preview 20 of what our staff assessment will look like. This is what 21 our CEC technical team of engineers and environmental 22 specialists will be producing. It's a staff assessment 23 that includes an environmental impact report. I want to 24 run over the topic areas that our staff assessment will 25 include because some of the groupings are unique to how CEC

1 analyzes projects and others are unique to doing an opt-in
2 analysis.

3 So if you look there on the top, we're breaking 4 out an engineering assessment, which will include topics 5 like facility design, reliability, transmission system engineering, worker safety, and fire protection. These, in 6 7 many cases, are topics that we can break out primarily because they don't have appendix -- CEQA appendix G 8 questions attached to them, and -- but they're typical to 9 how we analyze all sorts of power plant projects through 10 11 our AFC process. So we've incorporated that sort of 12 analysis into how we're doing opt-in as well.

13 Then moving on to the environmental impact 14 assessment topics. We've got air quality, biological 15 resources, climate change and greenhouse gases, cultural 16 and tribal cultural resources, efficiency and energy 17 resources, geo, paleo, and minerals, hazards, hazardous materials and wildfire, which is where we'll do our 18 19 wildfire analysis. Land use, aq, and forestry, noise and 20 vibration, public health, socioeconomics, solid waste, 21 transmission line safety and nuisance, transportation, 22 visual, and water quality and supply. So as you can see, 23 that's quite a bit of topics to be including, which tends 24 to make a pretty thick document. Looking forward to it. 25 And then there's another of other topics that we

look at for various reasons under the law, environmental 1 2 justice, all -- resources, agencies, documents, including 3 environmental justice analysis, and this one (indiscernible 4 00:48:28) too. We'll also be taking a look at alternatives 5 to the project. And then there are this final grouping I 6 would call the mandatory opt-in requirements, which is 7 where we'll be looking at all sorts of things that are unique to the opt-in statute, like community benefits, like 8 9 prevailing wage and labor agreements, economic benefits, 10 that sort of thing. 11 So if you could get to the next slide, please. 12 So CEC issued its notice of preparation on 13 November 2nd, which was just three days after the 14 application was deemed complete on October 30th. That 15 document -- again, we sometimes call that an NOP -- which 16 is viewable on the project docket identified several topic 17 areas where the project might result in significant 18 environmental effects. And, again, remember we are very 19 early in the analysis phase, so this is not intended to be 20 an exhaustive list. You can see some of the topics that we 21 highlighted in the NOP on the slide. Significant effects 22 may be present in other topic areas, and I just went 23 through a long list of them, or there may be additional 24 significant effects within one of the topic areas already 25 identified, which are the ones that you see on your slide

here. Anyway, identification of significant effects is key 1 2 to a CEQA analysis because it sets the stage for developing 3 mitigation to reduce such impacts. And you'll see that 4 I've included a TN number. That's how we note documents on 5 our project docket, in case you would like to access the 6 notice of preparation document yourself and read CEC's 7 detailed summary of all of these issues. But, again, 8 remember, this is at a very preliminary stage.

9 For the sake of brevity, I'll just go through the topics that we've got here. Biological resources. 10 That 11 was primarily associated with effects involving avian 12 species. Visual resources, involving the visual impact of 13 the turbines at various key viewpoints. Cultural and 14 tribal cultural resources. That's primarily impacts to 15 tribal cultural resources. Wildfire, which is impacts that 16 involve changes to firefighting tactics and strategies in 17 light of the presence and arrangement of the turbines. 18 There's also an issue regarding the local -- the local 19 ordinance adopted that bans large scale wind projects in 20 the county, which could end up impacting our land use 21 assessment as well as other topic areas.

All of our analysis topics include a discussion of what Eric referred to earlier, which is LORS -- laws, ordinances, regulations, and standards. So that -- when you've got an ordinance that deals specifically with large

> California Reporting, LLC (510) 224-4476

1 scale wind, that would obviously come into play in our 2 analysis. I want to hone down particularly on impacts to 3 tribal cultural resources.

4 Now, our tribal cultural specialists wrote up a 5 nice little summary for me, and I'm going to read it for you now. At least 20 cultural and tribal cultural 6 7 resources are in the proposed project site or within its viewshed consisting of Native American and Euro-American 8 9 archeological and cultural sites. The cumulative 10 archeological and ethnographic evidence and modern Pit 11 River Tribe's testimony presented in the Shasta County's 12 previous CEQA proceedings establish a tribal cultural 13 landscape that encompasses the entire Montgomery Creek 14 drainage. The proposed Fountain Wind Project would cause 15 impacts on individual cultural and tribal cultural 16 resources as well as the tribal cultural landscape.

17 Mitigation for some found artifacts and burial 18 sites is possible, but would not reduce the severity of 19 impacts to a less than significant level for CEQA purposes. 20 If you are familiar with the prior CEQA review of the 21 project, you may recall that Shasta County Planning staff 22 reached a similar conclusion with respect to impacts to 23 tribal cultural resources. They found impacts to be 24 significant and unmitigable, but then recommended an 25 override. The Shasta County -- and not necessarily for

> California Reporting, LLC (510) 224-4476

1 that issue alone, but overall. The Shasta County Planning 2 Commission took additional testimony and concluded that 3 such an override was not warranted. The Shasta County 4 Board of Supervisors later denied a reduced turbine version 5 of the project on appeal. An ordinance was adopted thereafter banning large scale wind projects in Shasta 6 7 County. CEC staff is aware of that record and has access to materials associated with that review that have been 8 added to the docket. On this issue and on all issues 9 included in our staff assessment, we are in the process of 10 11 gathering information and conducting an independent review. 12 Next slide, please.

13 First things first, I want to stress that all impact -- input and feedback is welcome, even if you just 14 15 want to make a quick statement in support of our opposition 16 of the project. We're here to gather scoping input for our 17 analysis, and the project docket is always open if the mood 18 strikes you and you decide you want to add something to the 19 proceeding record. I must say you've all done a great job 20 of that so far. We appreciate and value your input.

Second, I want to confirm that no one needs to restate comments that are already in the docket. We've already had a very large number of written comments submitted thus far, and I can assure you that all such comments are evaluated and considered by CEC technical

> California Reporting, LLC (510) 224-4476

staff and decision makers, even if they were submitted earlier in the process or before CEC deemed the application complete.

4 I would also like to encourage anyone submitting 5 oral comments tonight to follow up by submitting written comments to the project document just to make sure your 6 7 input is captured. There can often be some amount of lag 8 time before meeting transcripts like the one being 9 developed by our court reporter become available. So 10 submitting written comments to the docket is generally the 11 best way to ensure that your voice is heard.

12 Here's a few additional tips -- hold on a second. 13 Here are a few additional tips to help maximize the value 14 of your input. If your input is based on personal 15 knowledge of the project area or traditional knowledge or 16 any sort of knowledge or expertise, it's good to establish 17 that at the onset. It helps our technical staff to 18 understand the basis and depth of the perspective being 19 shared. Similarly, if your comment references an outside 20 source, such as a book or an article or a scholarly work, 21 it's good if you cite the source directly so that our 22 technical staff can verify the source and understand the 23 larger context. The audience for your scoping comments is 24 engineers, scientists, and topic area specialists, and 25 decision makers, of course. In my experience, our CEC

analysis teams don't shy away from doing additional research, so it's always good to give them a roadmap for further inquiry. In that regard, CEC posed several focus questions in the meeting notice, and I hope that everyone here had a chance to review and think about those guestions.

7 If you could go to the next slide, Jack, please. These are questions that we developed to hone in 8 9 on specific feedback we're hoping to get tonight. Each question goes to a critical issue we are wrestling with in 10 11 the context of our analysis and highlights critical 12 considerations that will factor into CEC's staff 13 recommendation that the project be approved or denied. And 14 now I'm going to go through these questions one by one and 15 have them hopefully be fresh in everyone's mind. So our --16 hold on a sec. Eric is teaching me how to use PowerPoint. 17 Thank you very much, Eric. 18 So first question, what value to state goals such 19 as meeting renewable energy and greenhouse gas emission 20 reduction targets does the project and its 205 megawatts of 21 renewable energy generation bring, if any? What value to 22 local consumer benefits, local environmental goals, and 23 grid reliability will the county -- within the county does 24 the project create, if any? 25 Second question, the applicant is proposing to

> California Reporting, LLC (510) 224-4476

1 contract with the Community Foundation of the North State 2 to fund grants to meet the legal requirement for the 3 applicant to enter into one or more legally binding and 4 enforceable agreements with, or that benefit, a coalition 5 of one or more community-based organizations. Does such an 6 agreement provide community-based benefits? What types of 7 projects should be funded to benefit local communities?

8 Third question, are there alternative renewable 9 energy generation technologies or project sites the state 10 should consider instead of Fountain Wind's potential energy 11 generation of 205 megawatts?

Fourth question, are there mitigation measures sufficient to reduce significant impacts identified for the biological resources, tribal cultural resources, visual and wildfire topic areas that would get them below the level of significance? What additional mitigation measures might CEC staff consider to further reduce impacts in these topic areas?

Fifth, are there other topic areas -- like that group I listed in the first slide -- in which the proposed project creates a potential significant environmental effect that we haven't already talked about? The --Six, the proposed project is inconsistent with

24 the Shasta County ordinance, which bans large scale wind 25 projects and concludes that such projects have no economic

> California Reporting, LLC (510) 224-4476

positive benefit to the county. The opt-in law authorizes the CEC to approve a project despite a conflicting local ordinance. What factors are most important and should be considered by CEC staff in developing a recommendation for or against approval of the project despite the inconsistency with the local ordinance? And I'm nearly finished.

8

Final slide, please.

9 So thank you for listening. And with that, I'm 10 going to turn the mic back over to Mona in our public 11 advisor's office who will lead us into the next section of 12 where we're going.

MS. BADIE: Good afternoon, everyone. Again, my name is Mona Badie, the public advisor for the California Energy Commission. Today I'll be presenting on how tribes, members of the public, and others can participate in this proceeding.

18

Next slide, please.

Just want to take a step back and introduce the California Energy Commission. The California Energy Commission, also called the CEC, was created by statute in 1974, and we're the state's primary energy policy and planning agency. We have a variety of functions and work closely with other energy-related agencies, like the California Public Utilities Commission and the California

Air Resources Board. Our primary functions include state energy policy, energy innovation investments, developing renewable energy, preparing for energy emergencies, energy efficiency, clean transportation, infrastructure, and intergovernmental collaboration.

Next slide.

So I'm with the Office of the Public Advisor, Energy Equity and Tribal Affairs. Part of our mission is to facilitate tribal and public engagement in our programs and policies. We are a free resource available to anyone that wants to engage with the Energy Commission. I'll be sharing our contact information on a later slide.

13

6

Next slide, please.

So, now, I'm going to talk about the different ways to participate in the CEC's Fountain Wind proceeding. There are multiple ways to participate. The first is just to follow the proceeding. Another is to comment in the proceeding. And a third option, open to California Native American tribes, is tribal consultation.

20

Next slide.

So I'm going to go into more detail now about how to follow this proceeding. One of the most popular ways to participate in our programs and policies is just to follow them. You can follow our proceedings by reviewing materials we post on our website, signing up for e-mail

> California Reporting, LLC (510) 224-4476

1 updates, and attending events like the one today. Our 2 website is a great resource because we post a lot of 3 information there. We have a specific page for each 4 proposed project. On our website, you'll see the -- on the 5 left side of my slide, you'll see the webpage for the Fountain Wind proposed project. It has information on the 6 7 project, the project status, and it has a place where you can subscribe for the free e-mail updates. And it's under 8 9 the place that says, "Subscribe Fountain Wind Project." It also has a link to the project proceeding docket, which 10 11 I'll explain in a moment. There's also a place on this 12 project -- proposed project webpage where you can submit a 13 written comment to the docket.

14 So, now, I'm going to talk a little bit about our 15 dockets that you've heard about before. The CEC has 16 publicly accessible online dockets for its proceedings. 17 And this is basically a place where application materials, 18 public comments, notices, agendas, and other documents are 19 filed and available online. On the right side of my slide, 20 you're going to see the docket for the proposed Fountain 21 Wind Project. With few exceptions, all materials in the docket are linked and available for anyone to download and 22 view for free. 23

You can also follow this proceeding by attending
public events like you are right now. Our website has a

1 calendar of events, and our events are noticed via our 2 dockets and also e-mailed to our -- the related e-mail 3 subscription lists. Our events are almost always hybrid or 4 fully virtual via Zoom, so the public can attend our events 5 from anywhere with a phone or internet connection.

Next slide, please.

7 Okay. Another way to participate in this 8 proceeding is to comment. So in -- as in all of our 9 programs and policies, any person can comment verbally at a 10 CEC event or in writing. Please note that any comments we 11 receive do become part of the record, and they will be 12 searchable by general search engine. To comment verbally, 13 just attend our events and wait for the instructions during 14 the public comment period to make your comment. For our 15 hybrid events, you can comment in person or via Zoom online 16 or by phone. And coming up on our agenda, there will be a 17 public comment period, which I'll facilitate. The CEC also 18 welcomes written comments. So as I stated before, on the 19 CEC website, we have what is called a docket for each 20 proceeding. Written comments can be submitted to the 21 docket at any time, but they're definitely most effective 22 targeted to the specific comment periods. So like Lon 23 mentioned, there'll be a comment period specifically for 24 the draft EIR, and that's when you would file comments 25 about environmental impacts and specifics for the EIR. On

> California Reporting, LLC (510) 224-4476

51

our website, you can submit a comment electronically by 1 2 typing it into our e-comment page. And we -- and you can 3 also upload a letter if you would like as well. And we 4 have e-mail and paper options available. And those are 5 described in the notice for today's meeting. I wanted to also say if anyone wants to make a public comment today, 6 7 but they're not able to stay to do the verbal comments, at 8 the materials table near the entrance, there is a piece of 9 paper, and you can handwrite comments, and we will put it in the docket for you. And also, after today's event, if 10 11 you need any assistance with participation, commenting, or 12 about accessing our events, you can contact my office.

13

25

Next slide, please.

14 The CEC invites tribal consultations in this and 15 other opt-in proceedings. Tribal consultation letters went 16 out from the CEC on November 3rd. And we are asking for 17 responses from tribes that want to consult no later than 18 December 13th. Here with us today virtually, we have 19 Gabriel Roark from the CEC Siting Division, and he will be 20 your point of contact for consultations in this proceeding. 21 Sierra Graves, a tribal engagement specialist in my office, 22 is also here today in person to support tribal 23 participation in today's event. Next slide. 24

Thank you for attending this meeting and your

California Reporting, LLC (510) 224-4476

interest in this proceeding. So we are -- we're all here to serve the State of California, and your participation helps us do our jobs. I've put my contact information on this last slide, and, again, my office is able to assist you to participate in this and other proceedings that we have.

7 And I just want to do a final reminder to please 8 turn in your blue cards to myself or Sierra. And if you 9 are part of the group that will be taking advantage of 10 extended comments, then please also flag that for me so we 11 know, and that would be for tribal leaders or designees, 12 Shasta County senators, assembly members, and other 13 government officials.

14 And that concludes my presentation. And I think 15 we're going to have a 30-minute break. And then what we'll 16 do is we're going to have -- a portion of the agenda is 17 going to be for the extended comment. And then after that 18 there'll be a short break, and we will go into general 19 public comment. And at that time, once I've got the blue 20 cards, we can kind of calculate timing and make sure we can 21 hear from everyone tonight before they kick us out of the 22 room, okay? So we're going to put a slide up with the 23 return time, and we're going to have a short break right 24 now.

25

COMMISSIONER GALLARDO: Could you please announce

1 the return time so folks know when to come back, be clear? 2 MS. BADIE: All right, 3:55 is the return time, 3 please, folks. Thank you. 4 MR. PAYNE: Welcome back, everyone. Lon Payne 5 again with the Energy Commission. I would like to invite Mona to provide instructions and facilitate our comment 6 7 portion of the agenda. 8 MS. BADIE: Thank you. 9 Okay. So this next portion of the agenda we've 10 reserved for tribal leadership, Shasta County, and legislatures. If we -- we have some blue cards. So what 11 12 I'll do is I'm going to call some names to come up. And if 13 you can please approach the podium. The mic will be on for you. And if you can please state and spell your name for 14 15 the record before you begin your comments, that will help 16 our court reporter. 17 I'm going to start with Shasta County. So we 18 have Supervisor Mary Rickert, then we're going to hear from 19 Chairman Patrick Jones, also Paul Hellman, Matthew McOmber, 20 and Ryan Baron. 21 Supervisor Rickert, thank you. SUPERVISOR RICKERT: Good afternoon and welcome 22 23 to Shasta County. I want to thank you for coming to what I 24 refer to as the jewel of the North State. My name is Mary 25 Rickert, spelled M-A-R-Y, R-I-C-K-E-R-T, and I have served

> California Reporting, LLC (510) 224-4476

1 as a District 3 Shasta County supervisor for almost seven 2 years. District 3 is where the Fountain Wind Project is 3 proposed to be constructed. I have lived in Shasta County 4 for almost 50 years, and I have grandchildren who are the 5 sixth generation residents.

I'm speaking on behalf of the many constituents, 6 7 many who are here today, that I serve and voice their strong opposition to this proposed project. I have been in 8 9 contact with many individuals and organizations in the area 10 and have received feedback. The vast majority are 11 adamantly resistant to the Fountain Wind Project. This is 12 also home to the Pit River Tribe, and they too disapprove 13 of this project. The proposed site is in a very high risk 14 fire hazard zone, and there are homes scattered throughout 15 the region. Residents are deeply concerned about how this 16 project will impact their land values. I have spoken with 17 accredited appraisers that have appraised wind farms, and 18 they are astounded that a project such as this would be 19 considered in a thickly forested area. It would also make 20 it extremely difficult for landowners to acquire property 21 insurance, a problem that plaques most of rural California. 22 In 1992, the Fountain Fire raced through Round 23 Mountain, Moose Camp, and Montgomery Creek communities. Ιt 24 was terrifying me -- for me as I watched from Eastern

25 Shasta County to witness the huge plumes of smoke, and I

California Reporting, LLC (510) 224-4476

1 was desperately hoping that no one was in danger. I will 2 never forget the devastation that was left behind, the loss 3 of natural resources, homes, and outbuildings. It was a 4 miracle there was no loss of life. Shasta County has 5 experienced many catastrophic fires in the last few years with several lives lost. The economic loss to a county is 6 7 huge when you experience a catastrophic fire. We have been sensitized to the trauma and devastation from -- that these 8 9 fires leave behind. With this proposed project, it could place up to 48 wind turbines scattered throughout the rough 10 11 terrain. The wind turbines are proposed to be almost as 12 tall as Shasta Dam. I ask you, how could an aerial 13 firefighting team successfully try to put out a raging 14 fire?

15 As a former member of the State Board of Forestry 16 and Fire Protection, I have traveled up and down California 17 and witnessed firefighting efforts. The ability to use 18 fixed-wing aircraft is invaluable in fighting a fire when 19 winds are howling at 30 to 40 miles an hour on a blistering 20 hot August day. With wind turbines towering several 21 hundred feet in the air, the use of our most effective 22 weapon to fight these fires would be severely hampered. My 23 heart goes out to the residents of this region, as they 24 already had to voice their opposition to the Shasta County 25 Planning Commission and the Shasta County Board of

1 Supervisors. Both bodies soundly rejected this project. 2 We listen to our people. We know what is best for our 3 communities. We know the increased fire risk these 4 turbines will place on fire fight -- fighting fires and the 5 negative economic impact it would have for landowners. We respectfully ask that your commission honor our county's 6 7 decisions and reject this project. Thank you very much. 8 MS. BADIE: Thank you. 9 Chairman Patrick Jones. If you can please spell your name for the record before you begin. That's helping 10 11 our court reporter, 12 CHAIRMAN JONES: Certainly. Patrick Jones, P-A-13 T-R-I-C-K, J-O-N-E-S. I'm former mayor for the City of 14 Redding, and I'm currently the chairman of the Shasta 15 County Board of Supervisors. Thank you for coming to 16 Redding. I appreciate you being here. 17 The Shasta County Planning Commission, as you 18 know, rejected this project listening to the admin -- and 19 you have a copy of the administrative review. I encourage 20 you to thoroughly review that document. The Shasta County 21 Board of Supervisors also rejected this project. We 22 represent the people of Shasta County. We are the elected 23 legislative body. You are not. You do not live here, you 24 do not have the history, and you do not represent the 25 people of Shasta County. We have rejected this project,

1 and I hope you'll read the full administrative review and 2 do the same. Thank you. 3 MS. BADIE: Thank you. 4 Next, we have Paul Hellman. 5 MR. HELLMAN: Yes, good afternoon. My name is Paul Hellman, P-A-U-L, H-E-L-L-M-A-N. I'm the Director of 6 7 Resource Management for Shasta County. 8 My department processed the use permit 9 application for the Fountain Wind Project between 2016 and 10 2021. During that period of time, myself, my staff, the 11 Planning Commission, and the Board of Supervisors learned a 12 lot about the history of the devastating Fountain Fire, the 13 Pit River Tribe, and the residents of the Montgomery Creek, 14 Round Mountain, and Moose Camp communities. With very 15 limited exceptions, the people that inhabit this area 16 united against this project despite their varied 17 backgrounds and connections to the land. In their minds 18 from the very beginning of their fight, they were David and 19 the project was Goliath. In spite of the obstacles, they 20 banded together, attended numerous Planning Commission and 21 Board meetings, expressed their concerns and opinions, and submitted extensive written comments and research materials 22 23 in support of their positions during the approximately 18-24 month period leading up to the consideration of the project 25 by the Planning Commission. After the applicant appealed

> California Reporting, LLC (510) 224-4476

1 the Planning Commission's denial, they regrouped and 2 resumed their fight knowing that the Board could very 3 easily overturn the Planning Commission's decision. The 4 people prevailed once again as the Board upheld the 5 Planning Commission's decision on October 26, 2021, and the 6 project no longer posed a threat to their health, safety, 7 and welfare, but, unfortunately, only for a brief period of Shortly after the project was denied by the Board, 8 time. 9 the Planning Commission discussed and subsequently initiated proposed amendments to the county's zoning 10 11 regulations regarding large wind energy systems due to the 12 inappropriateness of such developments in forested, high 13 fire hazard areas, among numerous other environmental 14 concerns.

15 The majority of Shasta County is designated by 16 Cal Fire as being within the high and very high fire hazard 17 severity zones. On May 12, 2022, the Planning Commission 18 recommended that the Board amend the county's zoning code 19 to prohibit large wind energy systems. Immediately prior 20 to the Board's consideration of these proposed amendments, 21 on July 12th of 2022, AB 205 was signed into law. The 22 Board enacted the amendments and directed staff to return 23 with subsequent amendments to reflect AB 205, which was 24 done.

25

The relief and hope that project area residents

and tribal members experienced on October 26, 2021, and again on May 12, 2022, turned to fear and frustration when AB 205 was signed into law since it enables the CEC to approve the project in spite of the county's prohibition sagainst such developments.

When CEC staff considers their recommendation to 6 7 the Commission to approve or deny the project, Shasta County implores staff to thoroughly and carefully consider 8 9 the wisdom and appropriateness of approving a project that 10 not only faced overwhelming opposition from the people who 11 would be directly affected by it, but which also led to the 12 county amending its zoning code to prevent any similar 13 project from ever being proposed again.

14 Shasta County and its people are not opposed to 15 renewable energy. In fact, numerous hydroelectric, 16 bioenergy, cogeneration, battery storage, and solar 17 projects have been developed, and others have recently been 18 approved by the county or -- and/or are in development. 19 The only exception to the county's support of renewable 20 energy projects is large wind energy systems due to their 21 massive scale, wildfire hazards, and impacts to tribal 22 cultural resources, biological resources, and visual 23 resources.

24 California is a large state containing a wide 25 range of terrain, flora, fauna, wildfire hazards, visual

> California Reporting, LLC (510) 224-4476

1 resources, and tribal cultural resources. Shasta County 2 firmly believes that there are many suitable locations 3 throughout California, as well as offshore, where large 4 wind energy systems can be developed in a safe and 5 responsible manner with minimal environmental impacts. Furthermore, Shasta County believes that it is neither 6 7 necessary nor justified to disrupt the health, safety, and welfare of project area residents and tribal members in 8 9 order to facilitate the generation of approximately 200 10 megawatts of wind energy. 11 Please take the time necessary to fully 12 understand and appreciate what the project represents to 13 those who will bear the burden of its impacts far beyond 14 the CEC's brief role in processing and developing the 15 project. Thank you. Thank you. 16 MS. BADIE: 17 Matthew McOmber, if you can approach the podium. 18 Please spell your name for the record as well. Thank you. 19 MR. BARON: Sorry. I'm Ryan Baron, B-A-R-O-N. 20 Matthew is going to, like, clean-up here. 21 Good afternoon, Commissioner Gallardo, Commission staff. Ryan Baron, special counsel Best Best and Krieger, 22 23 speaking today on behalf of the County of Shasta. I have a 24 few points about the process and some suggestions for the 25 Commission on a going forward basis.

First, a minor housekeeping item. The county has filed a standing reservation of rights in this proceeding challenging the Commission's jurisdiction over the project. J just have to say, as the pointy-headed lawyer, that the county's participation today and participation by the Board of Supervisors doesn't waive any of those rights, et cetera, and we know everybody understands that.

The county has a growing frustration, to say the 8 9 least, with what we consider a lack of process, a lack of procedures, and transparency issues on behalf of ConnectGEN 10 11 and the application. Many of those comments have been 12 filed in the administrative record, and I'm not at all 13 going to go through the substance of them today, but I am 14 going to highlight a few of them and ask that the 15 Commission address them and, at least on a going forward 16 basis, ensure that there's some guardrails on this process.

17 The county filed some pretty extensive comments 18 on the Commission's jurisdiction that have gone unresponded 19 In prior proceedings, the Commission has clarified its to. 20 jurisdiction through a business meeting, through the five 21 commissioners, through an opinion by the General Counsel 22 Office. In this case, we really ask the Commission to 23 weigh in on this issue in a formal manner, and that has not 24 occurred.

25

Secondly, the application that was filed was

California Reporting, LLC (510) 224-4476

1 grossly deficient between January 3rd and January 11th. In 2 fact, disclosures that we received under the Public Records 3 Act indicate that staff may have even felt that that 4 application was deficient, maybe needed to be refiled. 5 But, instead, the application was allowed to go forward.

The county, on the other hand, has a duty under 6 7 AB 205 to review and comment on the application -- in fact, it's required by law to do so. And as part of that, it 8 9 filed a cost reimbursement request in order to get reimbursed for its participation in the proceeding. 10 And 11 that was objected to by staff and summarily denied. And it 12 was denied outright, and it was asked to be withdrawn. We 13 have since refiled that cost reimbursement request, but 14 there was no guidance around that process. And while the 15 staff got to supplement their application, the county was 16 told to withdraw its reimbursement request.

17 There have been no information requests of the 18 county to date, as far as I know, other than an early 19 request in 2022 of Mr. Hellman having the offer -- getting 20 a copy of the county's wind ordinance. The county is a 21 required reviewer under AB 205. It was clear in the denial 22 for the reimbursement request that the county's 23 participation was needed or at least wanted, yet there has 24 been not a single request from staff. The county has 25 reviewed this project for over five years. It has more

> California Reporting, LLC (510) 224-4476

1 information about this project than most anyone in the room 2 and certainly can provide more detailed information to the 3 CEC.

4 In terms of the community benefits plan that's 5 been put together by the applicant, we believe that there's 6 been a complete lack of transparency on this item. We 7 filed detailed comments this morning in the docket that you've read or you can read or the public can read 8 9 outlining the process to date. We believe that there's 10 been misrepresentations about the community benefits plan. 11 There is not any negotiations ongoing with the Community 12 Foundation of the North State. We filed an information 13 request of the applicant. They refused to give us the 14 information, and now we've asked staff to issue a data 15 request or at least call for an investigation as to how 16 this process has been manipulated since the filing of the 17 application. Our comments are in the record.

18 Also on the public inconvenience and necessity 19 item, I would note that several of the initial slides of 20 ConnectGEN were dedicated to this issue, that this is the 21 only project that is needed in the state. That's not true. 22 We will be providing testimony in the form of the scoping 23 comments on December 4th and later on in the procedures 24 showing that if you look at the CAISO interconnection 25 queue, you look at the NP15 load forecasts, you look at

regional forecasts in the area, this project is not needed. 1 2 And so we do not believe that the public convenience and 3 necessity demands that the Commission approve this project 4 and -- or that it can make those findings, which 5 essentially those (indiscernible 01:22:05) that the applicant wants the Commission to override the county's 6 7 wind prohibition and build the project in spite of what the 8 Board of Supervisors adopted.

9 A few other couple of minor points. One, there was a docketing error related to the notice of completion 10 11 determination. We pointed that out in the record. We 12 followed up with the docket unit this week who put in 13 writing that there was an error. And normally that's an 14 inconsequential item and not something I, as a lawyer, 15 would bring up, but it determines the 270-day shot clock. 16 It determines the 30-day notice of preparation shot clock, 17 and that issue has gone uncorrected. The newspaper notice 18 for this proceeding was done at the end of February. So 19 the general public, other than the county, really wouldn't 20 have had any constructive notice that the application was 21 being filed until that notice was published in the 22 newspaper at the end of February.

I would lastly point out that the notice of preparation has not been posted at the County Clerk's Office as is required by the Public Resources Code and the

> California Reporting, LLC (510) 224-4476

1 CEQA guidelines, and thus calls into question whether a new 2 30-day comment period is needed on the notice of 3 preparation. 4 So we ask that the Commission look into these 5 issues, respond to them. We feel like some of these 6 comments are just going into the docket, and they're not 7 being responded to. And we know you're reading them, and we feel that you're genuinely looking at them, but we ask 8 9 that you address these issues, put some guardrails on the 10 process, and hold the applicant accountable on 11 transparency, particularly on the community benefits plan. 12 Thank you. 13 MS. BADIE: Thank you. 14 Do we have Matthew McOmber? If you can spell 15 your name for the record when you approach the podium. 16 Thank you. 17 MR. MCOMBER: Thank you. Matthew McOmber, M-A-T-T-H-E-W, M-C-O-M-B-E-R. Commissioner Gallardo and 18 19 Commission staff, thank you for this opportunity to address 20 you here briefly. I won't reiterate points made by our 21 team here, but I am going to, as a courtesy, inform this 22 body and Fountain Wind that today the county, together with 23 the Pit River Tribe, has filed a lawsuit naming the Commission and Fountain Wind in order to have a court 24 25 determine, as we have, that there is no valid jurisdiction

1 or authority for this project to be considered by the 2 Commission. And those are my comments. 3 MS. BADIE: Thank you. 4 Just a reminder. So -- right now, we're going to 5 ask for comments from tribal leadership, our designees, 6 also other government officials. If you're on Zoom, can 7 you please use the raise hand feature on your screen to 8 notify us if you're in any of these groups. And if you're 9 joining us by phone, you'll press star nine. 10 So next I would like to ask Chairman Yatch 11 Bamford from Pit River Tribe -- if you would like to 12 comment, we would appreciate if you could spell your name 13 for the record as you approach the podium. Thank you. CHAIRMAN BAMFORD: My name is Yatch Bamford. 14 You 15 spell it Y-A-T-C-H, B-A-M-F-O-R-D. Good afternoon, 16 commissioners and CEC staff. My name is Yatch Bamford, and 17 I am the elected chairman of the Pit River Tribe. I am also a member of the Madesi Band of the Pit River Tribe. 18 19 The Pit River Tribe is a federally recognized 20 Indian tribe consisting of 11 autonomous bands that are 21 aboriginal to the 100 mile square, which is located in 22 Shasta, Siskiyou, Modoc, and Lassen counties. The 23 aboriginal territory of the tribe today consist of all 24 ancestral lands recognized in the 1959 Indian clans --25 Indian Claims Commission. In its opinion in our land

> California Reporting, LLC (510) 224-4476

1 claims case, docket number 347 noted that the tribe's 2 territory includes lands within the 100 mile square. Our 3 tribal trust land today includes the XL Reservation, 4 Montgomery Creek, Roaring Creek, Big Bend Lookout, likely 5 Rancherias, and trust lands in Burney. Our cultural ties to the aboriginal lands are essential to the tribe's 6 7 identity and the continued existence as a tribe. As a functioning tribal government, the tribe has inherent 8 9 sovereign governmental powers to protect and promote the 10 health and safety and general welfare of the Pit River 11 people.

Due to cultural ties in our aboriginal lands essential to the tribe -- due to the time constraints of this hearing, what follows is a short list of objections from the tribe regarding the proposed Fountain Wind Project. The Commission has previously received our official objections as noted on project docket.

18 Number one, the project is within the Pit River 19 Tribe's aboriginal territory and will directly and 20 significantly impact the tribe and its citizens. The 21 project site is entirely within the ancestral boundaries of the Madesi, Ilmawi, Itsatawi, and Atsugewi bands of the Pit 22 23 River Tribe. The tribe itself owns multiple trust land 24 properties in Montgomery Creek near the proposed site for 25 the wind turbines. The Montgomery Creek Rancheria

currently supports housings for dozens of tribal families.
 We recently had acquired another 40 acres contiguous land
 taken into trust for the benefit of the tribe, and we plan
 to add much needed housing on that property as well.

5 Tribal members will be immediately adversely 6 impacted by the construction of this project in many ways, 7 including, but not limited to, mental and physical health, land health, watershed health, increase landslide 8 9 potential, and restricted access to sacred waters and 10 springs. Our tribal members are resilient as we have had 11 to overcome genocide and the loss of our lands to settlers, 12 but we are still here. Despite all the terrible things 13 that occurred in our area in the past 150 years, our tribal 14 members are hoping for a better future. Unfortunately, 15 this project will be another direct hit on their ability to 16 live freely.

17 We are also concerned about the protection of the 18 important tribal cultural resources and the permanent destruction of traditional historical areas that are 19 20 integral into the identity of the Pit River people which 21 cannot be mitigated. There are no mitigation measures 22 available to reduce the impacts to tribal cultural 23 resources below significant. Instead, Fountain Wind is 24 asking us to give up these resources for the benefit of 25 outside investors.

> California Reporting, LLC (510) 224-4476

70

1 Number two, the project infringes on the tribe's 2 freedom of religion and cultural practices. Pit River 3 people have a sacred responsibility to maintain the health 4 and integrity of our lands, including the plants and 5 animals that live there for future generations. This responsibility is passed on through our oral traditions 6 7 that tie us to the topography of the land. This responsibility is a central element of our spiritual 8 9 traditional ceremony, practices, religious expressions and 10 identity. The project site has been a place of refuge for 11 the tribe since time immemorial for ceremony, healing, 12 prayer, fasting, hunting, gathering, and other sacred 13 traditional uses. The project will directly impact our 14 ability to participate in these traditional, religious, and 15 cultural practices. There are no mitigation measures 16 available to reduce the impacts of this project on the 17 tribe's freedom to practice our religion, which involves 18 the protection of the lands that will be impacted for this 19 project to be built and operated.

Number three, the tribe's water and biological resources will be detrimentally impacted. The waters that flow in and around the project site are of great cultural significance to the tribe. The diversion of water for construction of the project will cause erosion and habitat loss, adversely impacting the biodiversity of the area and

these important resources to the tribe. The project will also impact eagle and other waterfowl habitat and the wetlands and plant species in the area. There certainly are no mitigation measures available to mitigate the harm that protection -- the project will have on the water and biological resources. There will be sacrifice -- they will be sacrificed for this project to occur.

8 Number four, the proposed project lacks community 9 benefit. The tribe contends that Fountain Wind has 10 submitted an illegitimate contract naming the Shasta 11 Regional Community Foundation as a recipient of funds to 12 distribute locally. Fountain Wind did this to meet the 13 requirements of Public Resource Code 25545.10. The tribe 14 has learned from members close to the organization that the 15 foundation wants nothing to do with Fountain Wind or its 16 project. We call on the CEC to view the community benefits 17 agreement submitted by the applicant as having served to 18 trick the CEC into deeming its application complete, 19 because that is what it did. The entire document, as it 20 relates to both the tribe and Community Foundation of the 21 North State, is unequivocally false and misleading. In 22 short, we have no intention whatsoever of accepting any 23 financial support from Fountain Wind in any way. We note 24 here that Fountain Wind presented similar false statements 25 to Shasta County during its first and second attempt to

have the project approved at county level. They stated in a press and at the hearing that the Pit River tribe would benefit from specific payments to the tribe. The Pit River tribe has always rejected the idea that any amount of money could mitigate the ongoing harm that the project would cause to the land and to our members. We have no intention of taking any funds from Fountain Wind.

8 Number five, the project unacceptably increases 9 the risk of wildfires in our aboriginal territory. The project is located within the PG and E service territory 10 11 and will interconnect with PG and E infrastructure, 12 increasing the risk of ignition during the construction and 13 operation of the project. PG and E's failing 14 infrastructure and lackluster safety maintenance history do 15 not inspire confidence in their ability to prevent wildfire 16 at or near project site. Additionally, the urbanization of 17 the site will further exacerbate the risk. The site is a 18 high fire risk by the very nature of its topography. We 19 cannot afford another catastrophic wildfire in our 20 aboriginal territory.

Number six, the project harms the tribe's current and future economic development goals. The tribe's economy is significantly dependent on tourism, which will be negatively affected by the aesthetic, biological, and detrimental health impacts associated with the project.

1 The placement of 48 of these behemoth structures in the 2 middle of our forest is unimaginable. The project will be 3 a drain on what little economic opportunity there is in 4 this community and further hamper the progress of (sic) the 5 tribe has made to overcoming generational poverty resulting from a history of genocide and the ongoing attempts to 6 7 destroy the tribe's aboriginal way of life. In short, this project serves only to create revenue for Fountain Wind and 8 9 its distant investors, but does nothing but harm to the 10 tribe and the surrounding communities' economic outlook. 11 Number seven, the project recognizes the goals of 12 the state and its pursuit to clean energy transition. 13 Furthermore, the tribe in no way opposes renewable energy. 14 However, we feel that it is not the charge of the tribe to 15 suggest alternative technologies or project. What we do 16 know is that Shasta County is not the place for this 17 project generally and this technology specifically because 18 of the topography and rural nature of the area. 19 Number eight, construction and decommissioning of 20 the project may disturb the unmarked graves of our 21 The highlands and ridges in the project area ancestors. are locations where specifically trained tribal members 22 23 would go for traditional purposes and may have ultimately 24 become the final resting place for those traditional

25 people. The presence of cultural obsidian within -- near

California Reporting, LLC (510) 224-4476

the project site is indicative of prior use. The potential disturbance of our ancestors' final resting place is deeply upsetting to the tribe. It is against the tribe's deep cultural beliefs to remove, disturb, or displace our ancestors.

Number nine, significant tribal cultural 6 7 resources will be impacted by construction, operation, and decommissioning of the project. The project will impact 8 9 viewshed of Snow Mountain, Lassen Peak, which are held 10 sacred by the tribe. Additionally, tribal cultural resources have already been impacted near the project site, 11 and it's very likely that additional discoveries will be 12 13 made due to ground disturbing activities during 14 construction. The tribe has deep cultural knowledge of the 15 project site, and the CEC must listen to our expertise.

16 Number 10, the project has already been 17 thoroughly vetted and opposed by the tribe and residents of 18 Shasta County. As you are aware, the tribe participated 19 extensively in the first attempt at this project. Tribal 20 leaders and members took the time out of their busy lives 21 and their own -- at their own expense to show up in person 22 and to oppose this project. We stand in unity with Shasta 23 County leadership. The Fountain Wind should not be given a 24 second bite at the apple, and the CEC should not stand for 25 itself being used as a political tool for corporate

> California Reporting, LLC (510) 224-4476

1 interest. We stand resolutely in reminding the CEC that 2 they are officers of this state and serve the people of 3 this state. The residents have made their objections to 4 this project crystal clear by passing a ban on large wind 5 energy projects because they're not appropriate for this area. With all of the new technologies being developed for 6 7 microgrids and local power generations, we believe that extraction from our aboriginal lands for power to be sold 8 9 into the grid is not a solution that the CEC should choose. We stand in opposition of the project. Thank you, guys. 10 11 MS. BADIE: Thank you. 12 Next, we have Brandy McDaniels from the Madesi 13 Band. 14 Brandy, if you're in person, please approach the 15 And if you're online, can you please use the raise podium. 16 hand feature on your screen to notify us you're online? 17 Thank you. And then if you could spell your name for the 18 court reporter, that would be helpful. Thank you. 19 MS. MCDANIELS: Brandy McDaniels, B-R-A-N-D-Y, 20 McDaniels, M-C-D-A-N-I-E-L-S. Okay. Can I move this over, 21 I can? I'm down an arm, so bear with me. yes? 22 (Speaking Achumawi). My name is Brandy 23 McDaniels, Madesi Band cultural representative for the Pit 24 River Nation. I oppose ConnectGEN's Fountain Wind Project, 25 as does my band and the wider Pit River Nation per their

1 previous resolution.

2 It is totally unbelievable that we are here today 3 after years of vetting this project, and we are now in year 4 seven in which our community educated ourselves on this 5 project and overwhelmingly opposed it. We are against this project. Our Shasta County Planning Commission educated 6 7 themselves, and they voted it down, as did the Shasta 8 County Board of Supervisors. These are the homelands of my 9 people. This project is proposed to sit on our ancestral 10 lands approximately two miles from our reservation where my 11 people live and are still trying to build and rebuild our 12 communities with extreme lack of resources, in which some 13 of our people still live without running water and electricity, continued injustices for my people. 14 15 While we are not rich -- we're not a rich tribe -16 - we are rich in our connections to our land, our culture, 17 our ecosystems, and the pure water resources that these 18 lands provide. This hearing today is not happening in the 19 affected community. As a result, this creates a hardship 20 to those affected. While this is a hybrid meeting, we 21 don't have cell service in many of the areas my people

22 live. We talked about fire today, right? We have had too 23 many fires, right, all around us, right, in cities --24 taking out entire cities, and they couldn't stop those 25 fires, right? We've already been there, and we're -- as I

1 said, we're still rebuilding from those fires. We have 2 schools that are shut down and haven't been able to reopen 3 because those people have not been able to overcome those 4 barriers to be able to come back home and rebuild. And 5 they want to come back home. They're willing to live without water and electricity to be in our homelands, 6 7 because to our people, our land and ourselves are one of 8 the same, and you cannot be a whole person without each 9 other.

10 This project is not green or clean and can never 11 offset its carbon footprint or restore the land and 12 ecosystem it will destroy. Tying into a known dangerous PG 13 and E line makes no sense. PG and E knows the lines are 14 dangerous and constantly, on a regular basis, are turning 15 them off due to this. We are the Pit River Nation, and the 16 symbol of our people are the three salmon. Those three 17 salmon and all the salmon can no longer come back to their 18 homelands due to the damming of the Pit River by PG and E.

So we have already been doing our part to contribute to your green and clean energy for a very long time to the sacrifice of our people. How much more do my people have to suffer and give and sacrifice, especially for a fake green energy project? On that note, ConnectGEN has proven to have no integrity and cannot be trusted, continuing to use our name to confuse the public that we

support the project in -- which we adamantly, adamantly are opposed to it and the destruction it will cause to our ancestral lands.

4 Earlier this month, my 11-year-old's class voted 5 to invite their families to class to give presentations of what they are thankful for. Their teacher was surprised as 6 7 kids this age are usually embarrassed of their families. 8 Yet these young children already understood the importance 9 of community. And, overwhelmingly, almost every student expressed their thankfulness for water, nature, and animals 10 in their presentations. This is exactly what these lands 11 12 offer, the community benefit of water, nature, and animals. 13 Even school children know this. An ecosystem that provides 14 a real buffer against climate change.

15 The Pit River people, we are a living, breathing 16 people that rely on these lands. We are not just an 17 archeological site that Henry Woltag over here can talk 18 about. No, it's not just sites. We use these lands, we gather on these lands. The medicinals are on these lands. 19 20 The -- everything is on these lands. These lands are the 21 store -- the topography of these lands tell the narrative 22 of our people, And any act to destroy that is an act of 23 trying to remove our people from history. And the history 24 of our people is the history of this nation, of this United 25 States.

> California Reporting, LLC (510) 224-4476

1 We have already been dragged through the CEQA 2 process. It makes no sense to do it again. There is no 3 statements of overriding considerations. There are none. 4 We've already been through this. How much longer are you 5 going to do this to us? We are suffering because of -- we are living in complete fear over this project, our 6 7 community. In closing, I just say I thank our community 8 9 members for traveling here today during this holiday season to protect these lands that are dear to all of our hearts. 10 11 (Speaking Achumawi). I am thankful for our county of 12 Shasta, our community. (Speaking Achumawi). I send love 13 to all my relations. (Speaking Achumawi). 14 MS. BADIE: Thank you. 15 Next, if we can hear from Feather Wolfin from the 16 Ilmawi Band. 17 And just a quick reminder to spell your name for 18 the court reporter, please. 19 MR. WOLFIN: Okay. My name is Gregory Wolfin, G-20 R-E-G-O-R-Y, W-O-L-F-I-N. So I also have Radley Davis with 21 me as well. So I am an elected representative of the Ilmawi Band, one of 11 bands of the Pit River Tribe. And 22 23 so we're one band that would be ultimately affected by the 24 project. Not the project per se, the windmill 25 installation. It would be towards Pit 1. And so that

1 includes some of the auxiliary facilities, whether it's 2 trenching or whatever else. And so that area is within our 3 ancestral band area. And so I kind of want to open up my 4 statement with a quote from an indigenous intellectual. His name was Vine Deloria, Jr. And so it'll kind of 5 summarize, you know, the testimony that Brandy had 6 7 provided, as well as our chairman Bamford. So, "The 8 primary difference between the western and indigenous way 9 of life is that Indians experience and relate to a living universe, whereas Western people reduce all things to --10 living or not, to objects." 11

12 And so with the tribe's previous testimonies and 13 even the testimonies today, we're talking about spirituality, we're talking about connectivity, we're 14 15 talking about epistemologies that are ancient. So this is, 16 you know, pre Doctrine of Discovery Papal Bull of Inter 17 caetera, as well as the United States Constitution and so 18 forth. And so what -- the Pit River people had existed 19 within these areas since time immemorial. So when you do 20 research on the Pit River Tribe, you begin to really 21 understand our interconnectivity to the area where our culture, identity, everything else is shaped with our 22 23 environment and ecosystems. And so with this area being 24 within the territorial boundaries of the Madesi Band, as 25 well as Itsatawi and Atsugewi -- but there's one tribe

that's not represented, so that's Yana. And so if you start doing research to why they're not there, it's because they were decimated. They suffered, you know, mechanisms of genocide and lands taken, property taken, and their lives taken as well. So that's why they're not here to provide a testimony to this very day.

7 And so I also want to point out the AB 205 and 8 overreach. You know, despite the Shasta County Planning 9 Commission, as well as the Board of Supervisors -- you 10 heard, you know, two supervisors provide testimony as well 11 to reject the project. And so here we are again. And I 12 also noticed that there was a lack of transparency with the 13 public benefits. And, also, as Brandy mentioned before, 14 how ConnectGEN had used the tribe's name and really just 15 was deceitful with that and continue to utilize the tribe's 16 name as well as some type of conversation that was had 17 between an employee of the tribe and ConnectGEN. And so 18 we've reached out to ConnectGEN to remove it, and they 19 would not, so that we have a lack of trust.

Another thing I want to mention is locality and -- for the scoping meeting. This meeting ought to be cocurring within the Intermountain area, within the area of impact. And so with that, it's -- it's a method, right? It's a way to kind of get more people kind of in informed. I guess you would say out of sight, out of mind, but it

1 should be taking place within the Intermountain area where 2 people live. And so, as Brandy provided testimony of the 3 impact of the fires in the area, is as -- you guys need to 4 hear the voices of the locals, so the people who live 5 within these project areas and who would be ultimately 6 impacted by mega fires.

7 And so I just -- (indiscernible 01:52:05) want to 8 toss that out to you all. And so another concern of mine would be the influx of traffic of construction. So we've 9 10 had many fatalities through 299 that's from, you know, 11 construction workers or other industry that's occurring. 12 And so when you're in tour season as well, it's really 13 congested. And so we'll have an (indiscernible 01:52:32) influx of people traveling through the area and really just 14 15 jeopardizing the safety of the local community as well as 16 travelers and disadvantaged communities. It's also a 17 mechanism to really just leave out the people of ground 18 zero, you know, people of impact and to really just negate 19 their availability to be present at these meetings.

So the reason why we're here or why I'm here, you know, AB 52 tribal consultation, I think that's the only mechanism that would allow the tribe to have a voice. And so while doing some research -- it was really tossed out within these documents of the privatization of the land. And it's only private because it was taken from indigenous

> California Reporting, LLC (510) 224-4476

1 peoples, right, mechanisms of genocide. Then you have 2 subsequent dominion of indigenous peoples through one law 3 at a time -- one inch at a time, land was taken. So the 4 only thing that we have, the Pit River Tribe has, is the AB 5 52 to be able to consult with the State of California, with the CEC, but not with ConnectGEN or whomever else. And so 6 7 I've sat in meetings and had discussions with ConnectGEN 8 and with these individuals who they've consulted with -- to 9 -- people who've researched the Pit River Tribe, but they 10 didn't reach out to the Pit River Tribe, they didn't 11 consult with the Madesi Band, Itsatawi Band, Atsugewi Band 12 or the Pit River Tribe. They just sat back, took notes to 13 what was said or expressed to our concerns to our spiritual 14 impact of the area. And that's really about it. And so 15 when we did have meetings, the tribe and these 16 representatives disagreed to this project, and we have 17 expressed this ever since this project has come up to our 18 radar.

19 And so I want to read off a CEQA guideline to 20 include questions related to impacts to tribal cultural 21 Section 17, tribal cultural resources. resources. So 22 would the project cause a substantial adverse change in the 23 significance of tribal cultural resource, defined in Public 24 Resource Code section 21074 as either a site, feature, 25 place, cultural landscape that is geographically defined in

1 terms of the size and scope of the landscape, sacred place, 2 or object with cultural value to California Native American 3 tribes, and that is the tribe -- I'm sorry -- has expressed 4 these concerns via resolution and testimony. So that's 5 what we've done. We've provided testimonies, we've 6 provided a resolution in opposition to this project. And 7 so it's just interesting how this is a third go around. 8 And I want to say that, you know, even five more meetings 9 down the line we'll be here to oppose the project and oppose, like, the AB 205 process. And so what I do want to 10 11 say is, these areas of impact would impact the spirituality 12 of the band, you know, past, present, and future. These 13 places have been used since time immemorial to find power 14 and place, right? Your -- the reason and purpose to why 15 you exist in this day and age and whatever else. And so 16 that's why we are here to provide this testimony and to 17 oppose this project to you all, to the CEC as well as ConnectGEN. 18 19 So with that, you know, I want to end my

20 testimony and allow Radley Davis to speak. Thank you.
21 MR. DAVIS: My name is Radley Davis. I'm Ilmawi
22 citizen of the Pit River Nation, R-A-D-L-E-Y, D-A-V-I-S.
23 And I'm just one of the many people who use the land, who
24 have immense respect for our lands and support the tribes
25 and county and everyone else's determination that the

California Reporting, LLC (510) 224-4476

project will adversely impact not just the land but the tribal cultural resources and the ability to continue for cultural use.

4 There are no sufficient mitigation measures that 5 would lessen the massive impact the proposed turbines and 6 road development would have on the rural and forested area. 7 The impacts on tribal cultural resources would be immense 8 as tribal cultural sources are both site specific and also 9 encompass a spiritual understanding and relationship to the 10 landscape, wildlife, visual sources, and soundscapes. 11 These turbines and their supporting infrastructure would 12 continue the legacy of extraction and exploitation for the 13 goal of others outside of our region. We know this by --14 because of the -- which was mentioned earlier about, like, 15 Shasta Dam. We don't enjoy that resource that goes down 16 south. When our electricity goes out, Hatchet Ridge Wind 17 does not affect us nor would these wind turbines. Thev 18 would go somewhere else. We would be a community who would 19 be -- because we're rural and considered out of sight out 20 of mind and poor, that this would be a legacy of where 21 other -- we feel other big, mega infrastructures and these 22 developments would come and make their home. It's not what 23 it needs to be or should be. That was said in the other 24 hearings.

25

Now, you all claim to be with CEQA -- part of the

process, a process that we acknowledged and that we 1 2 respected. And that's what we do, we respect the systems 3 and processes. I take it you reviewed CEQA before you got 4 here. I'm just going to quote from the 2023 CEQA 5 quidelines right on the front page of your own website, and the very quote on the first -- when you click in. 6 I won't 7 read it all to you, but I want to -- environmental impact 8 report on negative declaration determination by lead agency 9 finality consultation. "The lead agency shall be 10 responsible for determining whether an environmental impact report, a negative declaration, or a mitigated negative 11 12 declaration shall be required for any project which is 13 subject to this division. That determination shall be 14 final and conclusive." That's the law. That was done way 15 before you were involved, way before AB 205. And that 16 needs to be respected. That's the law. And Shasta County exercised that. Yeah. The other person who read and 17 18 talked about the draft environmental impact report when it 19 came out, and there was -- they wanted to do a mitigation 20 using the statement of overriding considerations. It's 21 okay to kill eagles, it's okay to kill bats, okay to kill 22 any other species on -- that's listed for protection, 23 federal level, state level. Our lives, they don't care 24 either. During that time, by the way, we were surrounded 25 by fires, we were being choked by smoke, we were being

> California Reporting, LLC (510) 224-4476

1 impacted by COVID. But that impacted us. And we asked for 2 reprieve for even a year or more, but we began to work 3 together and came together, and we dealt with the final 4 environmental impact report. So the other person that 5 talked about we need to -- we're going to find out and have 6 these meetings for you, well, guess what, I'll answer it 7 for you, it's been done for you. Our -- we've done the work for you already. Recognize your rules, your law. 8 9 It's already been done. The CEQA process has been done deeply, very deeply. How could you not recognize that? 10 Ι 11 know that -- the governor is not here. He should be here. 12 My tribal chairman is here. You know, the staff are here 13 for a consultation. Our governor needs to be here. That's 14 who we work with. He signed that law.

15 So I'm going to quote one more thing here that's 16 related to that. On March 29, 2012, Pit River Tribe, my 17 tribe, adopted the United Nations Declaration on the Rights 18 of Indigenous Peoples, which was adopted by the United 19 Nations General Assembly in 2007. I invoke this to bring 20 up Article 32, part two, which states, "States shall 21 consult and cooperate in good faith with indigenous 22 people's concern through their own representatives, institutions in order to obtain their free and informed 23 24 consent prior to the approval of any project affecting 25 their lands or territories and other resources,

particularly in connection with the development, 1 2 utilization, or exploitation of mineral, water, or other 3 resources." So what I say to you is that we -- with AB 4 205, the tribe wasn't consulted, the county wasn't 5 consulted, the city wasn't consulted. Where was the consultation for this law? That -- who developed this? 6 7 It's a flawed law. And what time do we get? You couldn't even say how much time we have. And it's very true. 8 The 9 impacted area is up in the mountains, not here. There's 10 the elders in here right now I talk with, their children 11 did not want them to drive here, you know, their adult 12 children, because it's getting dark. They knew that they 13 got to go back to Big Bend. You're putting us at risk 14 right now. You did not think about this. And our concern 15 is that we have to go through this, and you're -- and so 16 there's all these different processes, but that's what 17 we're doing. We're following the process. So I say to you 18 that, yeah, take these considerations, the full record from 19 the county. The -- there is a bad recording at the 20 college, 11 hours of testimony. I don't know if that's 21 truly captured from the testimony that was given there, and 22 that was a very important testimony. But all the testimony 23 is important. And the other thing about what the other 24 person said earlier from your staff about everybody's --25 your comments count. Well, in the final environmental

> California Reporting, LLC (510) 224-4476

1 impact report, we looked for all the other tribes that 2 supported and the no to Fountain Wind. It finally said 3 their letters were in the appendix, that they did not 4 follow CEQA. So thank you for submitting a letter, but it 5 did not follow the process of CEQA. So those letters were 6 not considered. So I say to you, no, that's not true. The 7 -- you have to follow the rules of CEQA, answer them 8 effectively, scientifically in that process. So it's not 9 fair. I think it needs -- all these things need to be looked at and amended. If you're going to do -- have good 10 11 due diligence on this and other projects, then you need to 12 look at the law that you're working with and look at the 13 flaws in it. Where's the Native American Heritage 14 Commission? I think they should be up here too. There's 15 nine people in that circle. They should be obligated --16 you should make sure that the Native American Heritage 17 Commission has an obligation to be here. They're elected 18 by their tribes appointed by the governor. There's just so 19 many things that it just seems like the system -- that 20 we've done for you, that you're redoing it again. And 21 that's why it doesn't make any sense to any of us. Ιt 22 should -- you should take this and think about it, because 23 it won't make any sense. And I know other people are going 24 to talk, but there's just more -- there's not any long-term 25 jobs. Where are the long-term jobs? The Hatchet -- is

> California Reporting, LLC (510) 224-4476

there long-term jobs? No, there's not. The fires that are 1 2 around us -- mega fires, as Feather mentioned, we -- that's 3 what we are faced with, and it's not going to change. And 4 if you really consider listening to us about what would be 5 good energy that would be done by here, controlled by our community and looking at that, put your energy and money 6 7 towards that. That's what AB 205 should be doing. Not the 8 citizenry -- arguing that the citizenry of California and 9 using climate crisis as an excuse -- and who cares about 10 what Shasta County thinks? We're looking at the total 11 citizenry. And so you're going to exercise a statement of 12 overriding considerations? I say to you that that's what 13 you should review is your own policies and use that as how 14 flawed it is. And everyone else that is here to not 15 support Fountain Wind, that that's what Ilmawi and Pit 16 River Tribe says to you is to not support this project and 17 consider anymore beyond this. 18 MS. BADIE: Thank you. 19 Next, we're going to hear from Agnes Gonzalez 20 joining us virtually from the Madesi. 21 I'm going to open your line, Agnes. You'll 22 unmute on your end, and you may begin your comment. Please 23 spell your name for the record as well. 24 MS. GONZALEZ: (Speaking Achumawi). Good 25 afternoon. My name is Agnes Gonzalez, A-G-N-E-S, G-O-N-Z-

A-L-E-Z. I'm a Pit River Tribe Madesi Band member and a
 council rep.

I'm here today to voice the Madesi Band's 3 4 opposition to the ConnectGEN's Fountain Wind Project. The 5 project site is within Pit River Tribe's ancestral boundaries of the Madesi, Ilmawi, Itsatawi, and Atsugewi 6 7 Band. The Madesi Band has an honor of duty to protect and promote the health, safety, and general welfare of our 8 9 tribe and natural resources. A key challenge facing the wind industry is the potential for turbines to adversely 10 11 affect wild animals, both directly via collisions as well 12 as indirectly. Turbines produce noise and alter visual 13 aesthetics, reported health risks -- wind turbine syndrome is an idea that wind power endangers the health of people 14 15 who live near windmills. Reported symptoms include 16 headaches, nausea, sleep problems, night terrors, tinnitus, 17 irritability, anxiety, concentration and memory problems, 18 and issues with equilibrium and dizziness. Data from a 19 meteorological field campaign shows that such wind farms 20 can significantly affect near surface air temperatures. 21 These effects result from enhanced vertical mix due to 22 turbulence generated by wind turbine rotors. There's 23 research that shows that the operation of wind turbines 24 will cause significant drying of the soil, thus dangering 25 our land. And this drought effect differs significantly

according to season and wind direction. We can assume that 1 2 the baseline wind energy resource is a constant. Why would 3 wind energy potential change because of climate change? At 4 the most fundamental level, winds are driven by the unequal 5 distribution of the sun's energy across the surface of the earth, which in turn creates regions of different 6 7 atmospheric pressure. Disadvantage of wind energy is it needs wind to work. Wind turbines should be placed in 8 9 spots where wind flow tends to be particularly strong. The 10 wind turbines that are located in our ancestral territory 11 don't always operate, and I've witnessed that myself. The 12 blades at times can be seen at a standstill, and there's 13 turbines that have blades that are broken off.

14 The application for the project was already 15 denied by the county for valid reasons at both the Planning 16 Commission and Board of Supervisors levels, yet the 17 Commission is asserting jurisdiction. This authority was not granted by the legislature. This action to illegally 18 19 overturn the county's action without judicial review should 20 not be allowed to continue. The tribe has been opposing 21 this project for many years, and the threat of this project 22 impacts our tribal members' mental health. I ask this 23 matter be resolved by denying this project's application. 24 I ask this application be denied. I have so much more to 25 say, but I know that it was stated earlier that we

1 shouldn't repeat what was stated in the past. But I just -2 - I got to know, you know, if the turbines fell into 3 disrepair or the chemicals and lubricant inside the 4 turbines leak, who's going to be there to put the fire out? 5 I just don't believe that our -- that we have the 6 emergency, you know, providers knowledgeable to handle an 7 emergency of this -- of an -- of a magnitude that a collapsed windmill would cause. So that's something that I 8 9 really ask that you all think about. I mean, I know we've 10 talked about fire here. I don't have to say it over and 11 over, you know, that the tribe has been opposing this. 12 This is the third time that I've spoken, you know, opposing 13 this application, and I'm going to show up every time. Ι 14 can't be there in person this time, but I'm in opposition, 15 and I'll continue to be in opposition, as well as my band 16 and the tribe. And I thank you for giving me the time to 17 speak today. 18 MS. BADIE: Thank you. 19 Next, we're going to hear from Louise Davis from 20 Itsatawi Band. And then after that, we'll hear from 21 Russell Ellick from Atsugewi. I'm sorry if I've 22 mispronounced your band name. Thank you. 23 Louise, if you can also spell your name for the 24 court reporter before making your comment, that would be 25 helpful. Thank you.

MS. DAVIS: Can you hear me? Good afternoon. 1 Mv 2 name's Louise Davis. It's L-O-U-I-S-E. Davis, D-A-V-I-S. 3 I am a citizen of the Itsatawi Band of the Pit River 4 Nation. Can you still hear me? I feel like it's echoing. 5 As a tribal member and a citizen of my nation, we -- I'm 6 opposed -- we are opposed to the ConnectGEN project. This 7 is actually the third time we've been here. And just as our chairman had said and our past chairman, I'm, you know, 8 9 in support of what chairman Bamford had said, Councilman 10 Wolfin, and all the other tribal people that are in the 11 room today and all the people that object to this project. 12 Again, just like Bradley had said, this should be held 13 where the project is going to be. And it is not, because 14 they're all opposed. And you come again and ask, well, 15 we're going to push this through, which you're pushing over 16 people that we live there. That's our area. In our 17 creation stories, it says we are created from that land. 18 My DNA is in that land. You, a company -- and I don't know 19 why ConnectGEN has a company -- or what's it -- you have a 20 seat at the table. We should have that seat at the table. 21 We are from there. Our DNA is in that land. Whatever 22 happens to that land happens to us. Things are destroyed 23 that can never be replaced, areas that we pray. We're not 24 going to tell you what specific place we're going to go 25 because that's our area. That's where we go. We pray, we

> California Reporting, LLC (510) 224-4476

1 bury our people there, we go and we mourn the loss of so 2 many things that have happened into our area. Our people 3 have been devastated over and over again. And all we ask 4 is to let us be. Let us take care of the land that we were 5 meant to take care of, where we were placed. We were placed there to take care of that land. And, again, just 6 7 like -- all the people that live in that area, they don't 8 want it. Why do you come and come again? So, again, we 9 are opposed, and we will be there. Each time you come and 10 ask or have any type of meeting, we will come, and we will 11 be there, and we will be oppose -- if you even try to go 12 and plant or build, we will be there. We will be there to 13 oppose any kind of building in the area. Thank you. 14 MS. BADIE: Thank you. Do we have Russell

15 Ellick? Thank you.

16 MR. AFSON: Hi, my name is Awigust Afson. It's 17 A-W-I-G-U-S-T, A-F-S-O-N. And I just want to say, as a 18 member of the Itsatawi Band, we oppose this project, and we 19 always will. And you -- this project has been denied 20 multiple times, again, like my people are saying. And I've 21 been speaking at these things since I was 15, 16 years old. 22 I'm 18 now. And just like those European ancestors tried 23 to get rid of us and failed, so will this project. You 24 people will fail trying to get rid of us. We will always 25 be here, and we'll always fight this. Thank you.

1

MS. BADIE: Thank you.

2 Next, we have Russell Ellick. Just a reminder to3 spell your name for the court reporter. Thank you.

MR. ELLICK: My name is Russell Ellick. I am a member of the Atsugewi Band of the Pit River Nation. I'm also the cultural representative of the Atsugewi Band of the Pit River Nation. I'm also a member of the RTOC, which is the EPA Regional Tribal Operations Commission (sic). And so myself and Feather are a part of that organization as well.

11 And we're here today. I thank everybody for 12 being here. It's been a -- you know, it's been a long day. 13 There's been a lot of testimony here today, and I just want 14 to thank everybody for their points of views and for their 15 attendance. And on behalf of the Pit River people, on 16 behalf of the Atsugewi Band, we oppose this project, and 17 for many reasons. You know, one of the main reasons that I 18 stand here today is to say that I live in Hat Creek. Our 19 territory spans Mount Burney all the way to Mount Lassen, 20 to Bald Mountain. And so every day I wake up, I see the 21 blinking lights of the wind turbines, I see the direct 22 effects, you know, of what that project -- when it was 23 developed, because I was a part of that project, because we 24 opposed that project of the Hatchet Ridge Project. And 25 just like we stand here today, we opposed that then, and we

> California Reporting, LLC (510) 224-4476

1 oppose this project now for the simple and direct effect 2 that it opposes (sic) on our people. You know, when I was 3 a kid, I remember stories being told of our ancestors that 4 as a part of our development and as a part of our coming of 5 age, we would go to the high places. And at these high places, we stood and we looked as far as our eye could see. 6 7 You know, with this proposed project -- this Fountain Wind Project, that directly affects that ability to grow and to 8 9 develop and see the power that we're expected to see when we do go to these high places for those specific reasons, 10 11 you know. So there are a multitude of stories that I --12 that our people could tell you if you guys would come up 13 and take the time to listen to our people, you know. And so I'm just one of many people that oppose this project. 14 15 And, again, I stand here today and say that we as the Hat 16 Creek people, we oppose this project. Thank you. 17 MS. BADIE: Thank you for your comment. 18 Next, we have Shaleesha Ward from the Madesi 19 Band. 20 Shaleesha, if you're here. 21 MS. WARD: Good evening. My name is Shaleesha 22 Ward, S-H-A-L-E-E-S-H-A, Ward, W-A-R-D. I come from seven 23 different California tribes plus Cherokee. Most of the 24 time people don't want to say you're Cherokee when you're 25 native because of course the majority of other people say

1 they are. But I come from three of those band areas that 2 are affected. I come from the Madesi -- I'm the Madesi 3 cultural rep for my band -- the alternate cultural rep. I 4 am Atsugewi from Hat Creek, and I am Yana. Like Feather 5 had mentioned earlier, the Yana are gone, but on the 6 census, my grandmother's grandpa is listed on there. 7 So I'm here today to let you know that I oppose

8 this. I grew up in Montgomery Creek as a lifelong member. 9 Where I live, my grandfather occupied this land in the 70's. So I've been occupying land my whole life. Where I 10 11 grew up, the people that are going to lease this land are 12 trying to give my tribe land, 500 acres on top of the 40 13 acres that we are already occupying. So I grew up along 14 this creek, Hatchet Creek that is, and one of the creeks 15 that come off of that sacred mountain up there. And in 16 that creek -- in that -- well, I am 36 years old, so in '92 17 when that fire happened, I was five. And so I've watched 18 those trees. My home burned up in that area. I grew up in 19 that creek, and watching all the plants and all the 20 resources come back that we used as sacred resources to 21 make baskets where -- along Hatchet Creek, a part of where 22 they're going to give our tribe back our land, Hatchet Fall 23 sits, and that's a woman's spot -- and to know my tribe is 24 going to get that land back and to be able to say I could 25 take my niece there to gather basket materials. But you

> California Reporting, LLC (510) 224-4476

put this project up and it affects the waterway, then what? Then you -- the water goes somewhere else. You poison the water, something happens to the water, that water flows into the Pit River, which the Pit River goes into the Sacramento River goes along and feeds all you guys (indiscernible 02:19:28) the fruit and vegetables.

7 But what I have to say is -- so being a lifelong 8 member, swimming in this creek, being connected to this 9 land, like everybody else stated, these lands -- those mountains -- when you're in Redding, and I look up that way 10 and I'm down this way, I can look up that way, and I pray, 11 12 because where I pray is in Mother Nature or -- in Mother 13 Nature. A lot of people go to church to pray. Not me. 14 Where I go, I go into nature. I go along the river, the 15 creeks, the high mountains. So I oppose this. And the 16 people that are leasing this land -- or like I said, the 17 water gets poisoned like Flint, Michigan. You guys know, 18 those people don't care. They -- those people are left 19 with contaminated water, pipelines. Those people that live 20 along there, what -- they're screwed with water that's not 21 good for them. So being a caretaker of the land, some people don't understand that. But when you come from here 22 23 and you're an indigenous -- I'm an indigenous woman -- I am 24 connected to this land. So I'm just here today to oppose 25 this and let you know that the Madesi Band, the Yana, the

1 Atsugewi, I -- we are not for this. Thank you. 2 MS. BADIE: Thank you. 3 Next, we have Michelle Lee. 4 MS. LEE: Hi. Good afternoon or good evening. 5 My name is Michelle Lee. I am an attorney for the Pit River Tribe. I'm also a member of the Hammawi Band which 6 7 is a band that's up around Likely, so we're not in the immediate area. 8 9 But I'm here today just to, as -- you know, provide support for our tribal members that are here 10 11 speaking today. And I'm very proud of them for sharing 12 with all of you how they feel. And what I want to do is 13 give a little bit of just kind of cleanup, I guess, on AB 14 205. So at the beginning of this hearing, there was talk 15 of how there's going to be early consultation and a lot of 16 references to Native American tribes, which on its face is 17 really great because it didn't use to be that way. It's --18 there was a time 20 years ago where tribes were not 19 recognized or included and consulted with. But the new law 20 actually undermines the tribal consultation process that 21 occurred between Pit River and the Shasta County folks. So 22 obviously lots of testimony about that tribal consultation that had occurred under AB 52. And AB 205 just added harm 23 24 by adding another process to create a new opportunity to 25 revive this project. Tribal representatives came across

> California Reporting, LLC (510) 224-4476

1 from the state back when AB 205 was originally proposed. 2 It was originally proposed in the legislature at the end of 3 session in a Trailer Bill and tribal representatives from 4 across the state. We had conference calls about it because 5 we were concerned about it streamlining over the existing protections under AB 52, which we -- you know, we've spent 6 7 many -- we've spent the last two decades building up a body of law to protect tribal cultural resources and to provide 8 9 a meaningful and robust tribal consultation regime. And so AB 205 cut -- was -- we caught it on our radar, and we were 10 11 worried about the streamlining, because what it did, in our 12 view, is it -- you know, it took away the tribe's voice. 13 And at the time, the governor's energy advisor, I'm not 14 going to mention her name, refused to meet with us. We 15 wanted to talk about AB 205 and the impact that it would 16 have on tribes and projects that could be happening in our 17 particular tribal areas. And so the passage -- from our --18 from my perspective, the passage of AB 205 was a failure 19 from the start. It only really benefits the large scale 20 developers, and it obviously streamlines over local 21 concerns. 22 So, you know, this region, as was stated, already

22 So, you know, this region, as was stated, already 23 provides more power to the grid than probably any other 24 region in the state. The PG and E hydro projects on the 25 (indiscernible 02:23:50), the Pit River, Fall River, they

> California Reporting, LLC (510) 224-4476

1 already provide significant renewable energy to the people 2 of the State of California. And there's -- the extraction 3 culture that has been imposed upon the Pit River Tribe and 4 Shasta County has resulted in the destruction of the 5 fisheries that the Pit River Tribe depend upon. And that -- you know, the tribe -- as was stated, the tribe has 6 7 already paid a huge price for the good of the State of 8 California. You know, our lands were taken, our lands --9 our waters were taken after our ancestors were driven from our homelands by militia. We've already paid the ultimate 10 11 price for the good of the State of California. And really 12 -- I mean, the theme in this comment is just enough is 13 enough. You know, we have the salmon, the steelhead, the 14 sturgeon, the sucker fish. We -- they were all lost to us, 15 and that was the primary source of sustenance for the Pit 16 River Tribe. And, you know, now the wind turbines would 17 harm the rest. You know, everything in the air. We lost 18 the water. And now what they're taking is in the air, the 19 birds, the bats, all the plants that will be damaged and 20 irrevocably impacted as a result of the project. And, 21 again, you know, enough is enough. The CEC doesn't need to 22 consider proposals like Fountain Wind to save the state. 23 And I feel like there was this false narrative that was 24 presented earlier today, that there's this binary choice 25 between a project like Fountain Wind, which is ill-suited

> California Reporting, LLC (510) 224-4476

1 for the location that is being planned, and the people of 2 the State of California who need this power. There's more 3 choices. You know, there's microgrids, there's small scale 4 utilities. At one point, the CEC had a process where they 5 were evaluating an initiative called the Renewable Energy Transmission Initiative, the RETI Initiative. And I know 6 7 there was RETI 2.0. And then it disappeared. But the RETI 8 Initiative was guided by the idea that this -- that the 9 grid was going to fail. And this was in the first Jerry Brown administration -- well, the first of his second 10 11 opportunity to be the governor. And the idea was the grid 12 was going to fail. And they were -- it was true. The grid 13 did fail. It -- we -- failed. We had blackouts, we had 14 fires. And the grid does need to be replaced. We don't 15 need to be just plugging in a new project into a failed 16 infrastructure that has already proven that it's going to 17 be resulting in catastrophic fire. So, you know, I think that there are other alternatives, and I think those were 18 19 part of the questions that you had posed to us is, what are 20 the alternatives? They're out there, and the RETI 21 Initiative really provided a really good framework for 22 that. They -- there was an opportunity for tribes to be at 23 the table and to look at these more local projects that 24 would understand the impacts and provide the benefits and 25 not have it be extractive where the impacts are borne by

1 one community for the benefit of some other good.

2 And as was mentioned earlier, you know, for 3 tribal -- as tribal people, we do treasure our tribal 4 cultural resources, but we're not just focused on the past. 5 You know, we are concerned about our present, and we're concerned about our future. And this project will have 6 7 irrevocable ongoing economic impacts to the tribe now and 8 in the future that cannot be mitigated. And I think we've 9 said -- you've heard it a lot of times, there's not a way 10 to mitigate the harms that the project will cause. Right 11 now it sounds like it is this sort of need by the state, 12 and that's driven by policy. And those policies need to be 13 looked at. And that, I think, would be your charge is to look at those policies and pull up these other ideas 14 15 instead of forcing these ill-suited projects into a place 16 where it's not wanted and it's not suitable. And I do 17 think it is time to upgrade the grid and, you know, not add 18 more to it. And that is why the tribe -- one of the many 19 reasons why the tribe joined in with the county in filing a 20 lawsuit this morning. And we challenged the use of AB 205 21 as granting jurisdiction to the CEC to review the Fountain 22 Wind application for that reason. And at that -- with 23 that, I am just going to ask you to deny the application. 24 I know we're not at that stage yet, but we believe you 25 don't have jurisdiction to review it anyway, so thank you.

Thank you. 1 MS. BADIE: 2 All right. I think we're going to delay the 3 short break that we'll take so that we can begin public 4 I know there's been a few people that have comment. 5 requested to make their comments so that they are not 6 traveling when it's too dark outside. Although I'm -- I 7 apologize that it has already started getting dark outside. 8 So I'm going to provide some brief introductions about our 9 public comment period. 10 We're going to take public comment in the room using the blue cards that you've been filling out. 11 So 12 there's still time to fill out the blue card if you want to 13 make a public comment and you haven't turned one in yet. 14 Sierra is in the room. She has a gray cardigan on, and she 15 will collect cards. Also, we have a table up front. We 16 can collect cards there. And also we're going to do Zoom 17 comments as well. And if you're on Zoom, you're going to 18 use the raise hand feature on your screen. It looks like 19 an open palm. That's how you'll let us know you want to 20 make a comment. If you're on the phone, you'll press star 21 nine to raise your hand. And you can start raising your 22 hand on Zoom now if you would like. That'll help us 23 estimate time. We have between 40 and 50 blue cards in the 24 room. And I'm not sure, because we're populating right now 25 with the raised hands on Zoom how many folks we'll have on

1 Zoom. We're planning to limit public comment to two 2 minutes per person. There'll be a timer on the screen, and 3 the mic will mute after two minutes. This is so we can 4 hear from everyone before we have to give up the room. Ιf 5 you need to leave before making your comment, or you wanted 6 to write your comment and have it entered into the docket, 7 we do have handouts at the materials table by the exit. And you can put your name -- you can put your comments in 8 9 there. We'll make sure they get docketed. And, again, all 10 the public comments will be part of the record, but that 11 also means that they are viewable online and searchable via 12 search engine. So I just wanted to make that disclosure. 13 Okay. So I'm going to -- what I'm going to do is 14 I'm going to call on folks. I ask that you approach the 15 podium. I'll call a few names at a time. So if you can --16 if you're next, if you can be near the podium -- we're 17 asking folks to spell -- state and spell their name for the 18 record. Also state any affiliation you would like to share 19 and your position on the project, if you oppose or support 20 the project. That's requested as well. 21 So first we have Scott Swinderman (phonetic). 22 And after that, we'll hear from W. David Wardall. 23 Scott, if you can approach the podium? 24 Do we have a Scott Swinderman? Okay. So, next, 25 we'll go to W. David Wardall. And after David, we'll hear

> California Reporting, LLC (510) 224-4476

1 from James Barnes.

2 MR. WARDALL: Members of the Commission, thank 3 you for letting me comment. I came up here at the request of some locals. I'm chairman of the Associated Aerial 4 5 Firefighters. It's a 503 nonprofit, and we are primarily interested in aerial firefighting safety, accident 6 7 investigation and training. So I've been a pilot since 8 1967. And I'm going to give you a little -- real quick, 9 about 10 seconds. I'm an airline transport pilot, a certified flight instructor of single and multi-engine 10 11 instrument, a flight engineer, heavy jet. I am a aircraft 12 structures engineer. I do consultant work for NASA, the 13 Air Force, Army, and NTSB. I'm a power plant engineer, and 14 I probably left out a few ratings. But the reason I give 15 the background is you got a real hell of a serious 16 operation here, dead serious. And I say that because what 17 I'm looking at is the wind turbines that you have are 18 around 600 feet. They're going to create vortices 19 downstream that'll take a DC-10 and flip it upside down. 20 Now, maybe I got your attention, but you can't fly in that 21 area. It's a no-fly zone. You will not be able to fly 22 aerial firefighting aircraft unless you're at least about 23 6,000 feet above those wind turbines. So you're basically 24 out of luck.

25

Now, I've investigated about 200 fatal accidents,

1 aerial firefighting accidents -- let's see, what else here. 2 The Associate Aerial Firefighters has approximately 150 3 members nationwide representing pilots and provides a forum 4 for advocate safety, effectiveness, and efficiency in 5 wildland aerial firefighting. I had examined the proposed Fountain Wind Project and determined it's an accident 6 7 looking for a place to happen and testified in person at 8 the county level hearings wherein it was unanimously 9 rejected. Real world dispatch and safety issues created by 10 these huge wind turbines are many, no consideration for 11 huge vortex -- votex that are produced downwind from these 12 turbines --13 MS. BADIE: Thank you, James. We have to move on 14 to the next comment. 15 MR. WARDALL: I'm sorry? 16 UNIDENTIFIED SPEAKER: (Indiscernible 02:34:10) 17 get three minutes. Two minutes (indiscernible 02:34:13). 18 MR. WARDALL: I've got about 10 seconds to finish 19 up, and I've traveled 300 miles and spent a lot of money on 20 fuel to get here. Let me -- please, let me -- sorry (indiscernible 02:34:24) is 150 feet above ground, and 21 22 we've gone across a ridge or down about 25 to 50 feet. So 23 this is -- the retardant coming out an aircraft, you want 24 to have zero forward movement when it hits the ground so it 25 doesn't tear up the ground or houses or whatever. That's

about a 100, 150 feet. A 600 feet turbine and another 1 2 couple thousand feet up there, the retardant drop would be 3 useless. I urge you to consider that flying heavily laden 4 aircraft, fixed or rotary, with poor visibility and smoke 5 and very tall obstructions and whirling immense blades prescription for fatal accident. And understand the 6 7 importance of air attack have been over the years. 8 Recently, air attack (indiscernible 02:35:11) saving 9 numerous communities from Tulare to Redding. 10 Finally, consider the threat you would be 11 imposing on three communities immediately adjacent to the 12 proposed -- proposal by limiting the possibility of fixed-13 wing air attack. Don't take my word for it. Behind me is 14 a 5,000 hour tanker pilot. I'm going to say this, that I 15 think that this is a really a bad idea, and I look at it at 16 -- very sad to see this. And for the Indian community, my 17 grandson is a Wailaki Indian. 18 MS. BADIE: Thanks. Next, we have James Barnes. 19 And after James, we'll hear from Stephen Fitch. 20 MR. BARNES: Well, good evening, ladies and 21 gentlemen. My name is James Barnes, air tanker pilot for 22 35 years, former board -- chairman of the board of the 23 Associated Aerial Firefighters and the California Fire 24 Pilots Association. 25 And I liken the Cal Fire approach to the Marine

1 Corps. We're a balanced force of combined arms. When you 2 got a fire in that kind of a situation out there, you have 3 to get out there fast. The window of opportunity is small, 4 and you have to stop it at or below 10 acres. If you fail 5 to do that, it goes into an extended attack, and that means a greater threat to life and property. I've flown all over 6 7 the State of California. I've flown in -- at fires in 8 turbine fields. And what I've concluded is you can't fight 9 fires in turbine fields with fixed-wing airplanes. The one 10 that we used to go to once a year was at Antioch -- not 11 Antioch -- Altamont. And that fire would burn from the top 12 of the pass all the way to I-5 every year. Nobody 13 attempted to stop the fire in that turbine field. Well, it 14 didn't matter because it was all grass. Same thing down at 15 Tehachapi. That was kind of rugged terrain and scruffy 16 vegetation, but there weren't a lot of houses there. And -17 - well, you just waited until the fire burned out of the 18 turbine field before you started fighting the fire. 19 So our holy grail is a rapid response initial 20 attack, and the turbine field will hinder initial attack. 21 We won't be able to support our ground troops dropping four

22 tons of fire retardant to turbine blades and towers. It 23 would constitute a tremendous risk to the firefighters that 24 we're trying to support. So I canvased my group of pilots. 25 We all came to the same conclusion. It's infeasible to use

1 air tankers in turbine fields. I listened to the gentleman 2 give a very thoughtful presentation on the reduced fire 3 risk. Those are good things to do, but I don't believe 4 it'll be enough. And in consideration for our firefighters 5 on the ground -- they're (indiscernible 02:38:21) to me. You know, our main job is to support those people. 6 We 7 can't do that (indiscernible 02:38:28), so we should pay 8 special attention to the (indiscernible 02:38:32). Thank 9 you. 10 MS. BADIE: Thank you. Mr. Fitch, if you can 11 just briefly pause. We're going to switch out our timer 12 really quick. But as soon as we're ready, I'm going to cue 13 you up. Thank you. MR. FITCH: I'm Stephen Fitch, S-T-E-P-H-E-N, F-14 15 I-T-C-H. I'm a former forest supervisor of the Shasta-16 Trinity National Forest. 17 I believe the review and sequence teams were 18 apparently not aware that the Fountain Wind Project is 19 surrounded on three sides by congressionally established 20 lands with the objective of preserving scenic qualities. 21 These include the National Recreation Area to the west and 22 north, the Pacific Crest Trail to the east and the north, 23 and the Volcanic Legacy Scenic Byway, one of the nation's 24 all-American highways passing just to the east. I managed 25 two of these areas, the National Recreation Area at Shasta

1 Lake and the Pacific Crest Trail, and helped establish the 2 Volcanic Legacy Scenic Byway. Together, these are key 3 parts of California's legislated scenic features and all 4 impacted by the project. I spent 10 years making sure 5 these proposals that are within and around these areas did not destroy their scenic values. Your staff should note 6 7 that "scenic" is the first word describing the values contributing to the public enjoyment in the law 8 9 establishing the National Recreation Area at Shasta Lake. 10 The governor often notes the great scenic values of 11 California and importance to tourism. If approved, this 12 will be just the beginning of an incremental aesthetics 13 destruction of the Sierra Nevada. As they march south with 14 additional proposals in its beautiful, highly flammable 15 forest, the project will seriously compromise one of the 16 major gateways into this great scenic force of Northern 17 California. Keep in mind that Shasta Cascade Wonderland is 18 the theme and title of the county. Tourism is the economic 19 foundation of Shasta County. Millions of visitors each 20 year would have their views from the NRA to the east 21 towards the mountains and Lassen peak destroyed or look directly down at the whirling giants from the Pacific Crest 22 23 Trail, or looking west from the Volcanic Legacy Scenic 24 Byway. Mitigation -- you simply cannot hide this project, 25 and it does not fit within the form, line, and texture of

1 the environment. Therefore, it destroys the very scenic 2 value of the region that millions come to see in Shasta --3 in the Shasta case (sic) Wonderland.

4 Now, concluding, it's hard to imagine a project 5 more disruptive to the visual quality of the county for visiting and recreating public. The economic impact on a 6 7 recreation dependent county will be significant. And I want to conclude by mention that the folks here, pilots, 8 9 know every one of those folks that you pictured up there from the Cal Fire, and he -- and they said they don't know 10 anything about aviation firefighting. They -- so I thought 11 12 just (indiscernible 02:41:56) pass that on to -- thank you. 13 MS. BADIE: Thank you. Next. 14 COMMISSIONER GALLARDO: This is Commissioner 15 Gallardo. I'm going to interrupt real quick. 16 MR. WARDALL: Could I make a 30-second statement? 17 COMMISSIONER GALLARDO: Sir, could you --18 MR. WARDALL: I have a tremendous respect for 19 these firefighters. Cal Fire is the greatest firefighting 20 organization in the world. We have 54 aircraft, but the --21 and I have personally carried the director there. "Hey, 22 Dave, I got a problem in San Diego." "Okay. I'll take you. We'll be down there in an hour." But with all due 23 24 respect, they don't have the engineering background or

25 aerodynamics and understanding of the implications of those

California Reporting, LLC (510) 224-4476

wind turbines on aerial firefighting. They cannot be
 mitigated. Thank you.

COMMISSIONER GALLARDO: All right. This is 3 Commissioner Noemi Gallardo. I wanted to interrupt real 4 5 quick to emphasize that our public advisor is trying to run a smooth process for public comment so that everybody has a 6 7 fair chance to speak, given that we know that there is a lot of interest, we've received a lot of blue cards, and 8 9 there's -- I believe people are raising their hands online So please be respectful. And we've shifted the 10 as well. 11 time from two minutes to three minutes so that people have 12 a little bit more time. And whoever's handling the timer, 13 if you can start the timer after folks have said their name 14 and their titles, because some titles and names will be 15 longer than others, so we could wait for that. And that 16 way, people have a fair chance to -- or have enough chance 17 to speak the content.

And also, I would like to say I've noticed that some people have come with their comments in writing. You can also leave those with us if you're not able to get through the entire document that you have. Feel free to leave that, and we will accept it into the docket as well. Thank you.

Go ahead, Mona.

24

25

MS. BADIE: Thank you. We have also

California Reporting, LLC (510) 224-4476

1 commissioners from the Shasta County Planning Commission. 2 So we will not use the timer. We have Steve Kerns, and 3 then after that we'll hear from Joseph Osa. 4 Steve, if you can approach the podium, please 5 spell your name for the record. 6 MR. KERNS: Good evening. My name is Steve 7 Kerns, K-E-R-N-S, and I'm a Certified Wildlife Biologist and a Shasta County Planning Commissioner from District 3. 8 9 That's the area that this project is in. 10 As a planning commissioner, I'm under obligation 11 to follow our county codes. County code 17.92 states, in 12 part, "The proposed project will not, under the 13 circumstances of particular project, be detrimental to the 14 health, safety, peace, morals, comfort, and general welfare 15 of persons residing or working in the neighborhood or 16 injurious to the property or the improvements." This 17 project violates that code entirely and poses an 18 unacceptable risk to the citizens of our county due to the 19 severity of the threat of catastrophic fire and the 20 inability to use aerial attack to fight those fires. AB 21 205 may give you the authority to ignore this issue considering community benefits. However, there are more 22 23 prudent ways to achieve benefits than the Fountain Wind 24 Project. This last month, our commission approved a 25 construction of a cogeneration power plant. This will be

> California Reporting, LLC (510) 224-4476

the third of such facility in our county. While Fountain 1 2 Wind Project dramatically increases the fire risk and 3 eliminates the ability to use aerial attack, cogeneration 4 power plants remove excess forest fuels and thereby improve 5 forest health with no increased fire risk. While Fountain Wind has significant impacts to tribal and religious 6 7 culture sites as you've heard, cogeneration plants have no impacts at all. While Fountain Wind has significant visual 8 9 impacts, cogeneration has none at all. While Fountain Wind 10 have ongoing taking of listed wildlife species over time, cogeneration will not have any taking at all. And while 11 12 Fountain Wind produces power sporadically, cogeneration is 13 dependable 24/7. A biomass cogeneration power plant is a 14 much greater and safer community benefit. I don't see my 15 timer, so I'm going to keep going. The men and women who 16 serve on the Shasta County Planning Commission Board of 17 Supervisors are all longtime residents of our county, and 18 they have witnessed, in many cases experienced, 19 catastrophic fires. They know and understand the 20 significance of the religious and cultural heritage of our 21 Native Americans, and they know and experience the beauty 22 of the mountains surrounding our valley, and their lives are intertwined with the land and the resources thereof. 23 24 Those asking you to overturn our ban on wind farms are from 25 Texas and have hired international corporations to submit

> California Reporting, LLC (510) 224-4476

1 their environmental documents. They do not know our land 2 or our ground. They have little appreciation or care of 3 the impacts to our citizens and the resources of this 4 county if their project is approved. We stand before you 5 testifying for the safety of our citizens, for the protection of our Native American cultural heritage, for 6 7 the natural resources of our county, and we stand before 8 you to testify that there are better ways to achieve 9 community benefits with significant effects, and we are doing them. And we know of what we speak. And we ask of 10 11 you, if you do have the authority, to listen to us and not 12 approve this project. Thank you. 13 MS. BADIE: Thank you. Next, we have Joseph Osa, 14 also with the Shasta County Planning Commission. 15 MR. OSA: Slight correction. I'm not with the 16 Commission, but I work with them on opposition to this, but 17 -- so you can start the timer if you want. I wrote it for 18 three minutes. My name is Joseph Osa, J-O-S-E-P-H. Last 19 name is O-S-A. I'm a retired electrical engineer, and I 20 reside in Montgomery Creek along with my wife and my 86-21 year-old mother who I moved up from Chico recently after we 22 were sure we stopped the Fountain Wind Project, didn't want 23 her in harm's way. 24 Shasta County is already one of the top five 25

> California Reporting, LLC (510) 224-4476

renewable energy producers amongst all other California

counties and one of the lowest consumers of energy. 1 2 Biomass is a suitable renewable energy technology that is 3 synergistic with both California's clean energy goals and 4 the dire need to manage our overgrown forest with their 5 dangerous abundance of dead and dying trees. Multiple 6 biomass plants, like the recently approved Hat Creek 7 biomass facility would produce -- with process materials produced by forest standing and tree salvage operations 8 9 provide even more long-term local employment and is the 10 right type of renewable energy project for our area. 11 Transportation of biomass fuels is costly, so a large --12 larger number of smaller plants would help to solve the 13 transportation problem. Other suitable technologies could 14 include large scale solar. There are lands throughout 15 Shasta County that would likely be suitable, some of which 16 are adjacent to existing electrical transmission lines. 17 Solar, even at the commercial scale, would not have the 18 same environmental impacts, particularly that of aerial 19 firefighting impediment. Another problem with the Fountain 20 Wind Project is the impact it would have on existing 21 Hatchet Wind Development. The wake effect of the Fountain 22 Wind Project would have a significant impact on the Hatchet 23 Project, so much so that Pattern Energy, the developer and 24 owner of Hatchet Wind, was concerned it would prevent them 25 from meeting their contractual requirements with PG and E

as stated in the comment letter they wrote during the 1 2 previous county-led CEQA process. The alternative 3 technology suggested above would not produce this negative 4 impact on an existing clean energy development. Of the 5 above technologies, only biomass produces dispatchable energy. It can generate power as needed, vice, only when 6 7 the wind blows or the sun shines. As such, it aids in grid 8 stability and does not require that it be curtailed as wind 9 and solar power does because they often produce power when 10 it isn't needed.

11 Also, the 205 megawatts of the Fountain Wind 12 Project is nameplate capacity, where actual production is 13 likely to only be 30 to 35-percent of that. And even then, 14 it will be further reduced by another 20 to 25-percent as 15 renewable energy typically is here in California due to it 16 producing at inappropriate time or time when it is no 17 longer needed. So only about 23 to 26-percent will be 18 usable or 47 to 53 megawatts. The equivalent power could 19 easily be and reasonably be produced by biomass. So please 20 explore these other viable and much more suitable 21 technologies for our area and deny the Fountain Wind 22 Project. Thank you. 23 MS. BADIE: Thank you. 24 Next, we'll hear from Antonio Mendoza, tribal 25 leader from the Pit River Tribe. After Antonio, Randall

1 Smith, we'll hear from you.

2 MR. MENDOZA: Hello. My name is Antonio Mendoza. 3 That's A-N-T-O-N-I-O, M-E-N-D-O-Z-A. I'm the Pit River 4 vice chairman, a member of the Ajumawi Band and a U.S. Army 5 veteran. I just wanted to express how sad it is to hear how Fountain Wind doesn't really seem to care about our 6 7 homelands and how much destruction it would cause with the project going through if they decide to try to continue to 8 9 -- pushing it through. To hear how much more dangerous it's going to be for the firefighters on land to not have 10 11 that backup support through the air. It's just truly 12 heartbreaking to hear that. I grew up in these -- in the 13 Intermountain area for my first five, six years of my life, 14 moved away. And the entire time I was gone, all I remember 15 is how much I wanted to come home. These lands have a 16 power that just want to draw you back home. It's a sacred 17 place to me and my family. These will always be my 18 homelands for me and my children and future generations to (Indiscernible 02:52:17) take this into 19 come. 20 consideration how much destruction this is going to cause 21 to our homelands and how much pain this is going to cause 22 our people. Thank you. 23 MS. BADIE: Thank you. 24 Next, we're going to hear from Randall Smith. 25 Just a reminder, we're having the timer up out of respect

1 also from everyone else that's here tonight so we can hear 2 from everyone before we have to give up the room. And so what we'll do is the timer will be on the screen. 3 Once the 4 time is up, they're going to lower the mics, and then the 5 folks on Zoom won't hear you -- so the participants -- we have about 70 people on Zoom -- will not be hearing you, 6 7 and we won't be able to hear from everyone tonight before 8 we get kicked out of the room. So I'm just trying to make 9 it so that we can hear from everyone respecting everyone's 10 time as well. So we ask that you respect the timer so we 11 can hear from everyone. So after Randall, we'll hear from 12 Mark Mulliner.

And, Randall, please spell your name for therecord before you begin. Thank you.

15 MR. SMITH: Randall is R-A-N-D-A-L-L. Smith is 16 S-M-I-T-H. Members of the Commission and staff, thank you 17 for this opportunity. Fountain Wind is the right project 18 in the right place and at the right time. Next June, my family and I will have lived in Shasta County for 50 years. 19 20 I practiced medicine here for 30 years. In my retirement, 21 I have been active in resource conservation and riparian 22 restoration. I consider myself to be a strong advocate for 23 environmental stewardship. I am a founding member of the 24 Allied Stream Team of the Rotary Club of Redding. 25 Fountain Wind offers many benefits to our area

1 and to the cause of sustainable energy production. For 2 some reason, many facts about the project have been 3 misconstrued, patently denied, or negatively presented by 4 opponents. The first of these has been labored, and that's 5 fire prevention and the reduction of risk, not the ascendancy of risk. Watershed protection has been 6 7 discussed and is, again, advanced, not retarded by this 8 project. My understanding was that Native Americans will 9 have permitted access to this private property they 10 presently do not enjoy if the project lease is extended. 11 Jobs, taxes, and community benefits are well described in 12 literature you already have. We need this energy and its 13 type so that fossil fuels can be reduced and we are not 14 leaving a legacy of radioactive material for future 15 generations to fix. Another consideration which has been 16 mentioned are aesthetics. Beauty is surely in the eye of 17 the beholder. We can only hope that one day others will 18 question this resistance to change for a better tomorrow. 19 The Dutch have been looking at windmills for over 900 20 years. They are proud of their landscape and what it still 21 I can see the existing installation from my affords. 22 Redding backyard if I use binoculars. I look at them as a 23 statement of Shasta County's ability to greet the future 24 while protecting and providing for the present. 25 My query to the Shasta County Board of

1 Supervisors is still unanswered. How is it that a county 2 which once welcomed the Central Pacific Railroad is now 3 afraid of such a beneficial change as Fountain Wind? Once 4 the nation's premier source of needed copper, our county 5 now with a Superfund site does not allow a motherhood and apple pie renewable energy project to move forward. 6 You 7 are enabling legislation that allows you to (indiscernible 02:56:43) the situation. 8 Thank you. 9 MS. BADIE: Thank you. Next, we're going to hear from Mark Mulliner. 10 11 And after Mark, we'll hear from Jim Chaplin (phonetic). 12 MR. MULLINER: Good evening. Mark Mulliner. I'm 13 the Northern Director of the State Building and 14 Construction Trades Council of California. I represent 15 500,000 union affiliates and their members, 83,000 which 16 are apprentices. 17 I just want to say that this is a good project. 18 This project is -- has been vetted, it's been shrunk. I've 19 been involved with this project personally for the last 20 three years. I came into this position -- actually, I was 21 there the night that the supervisors voted it down. You 22 know, it's disappointing from a builder -- from a construction worker's point of view. We want jobs, and we 23 24 want good paying union jobs. And when a developer comes in 25 and makes commitments in rural America to pay union wages,

middle class benefits, and hire the best trained, highest 1 2 skilled union workers in the world -- the State Building 3 Trades is a legislative arm, and we legislate for our 4 members. We create laws and legislation and lobby, and we 5 put people to work, and we put them in the middle class. We bring in all the local young people through our MC3 6 7 programs and our Hard Hats to Helmets. I would just want 8 to say a shout out -- a lot of us have left. There was 9 over 40 of us here. A lot of people had to go home, pick 10 up their kids, you know, get ready for tomorrow. Doyle 11 Radford, the business manager of the laborers brought over 12 20 people here, okay? Doyle has got a lot of local 13 workers. The Operating Engineers are in the house. They 14 have got a lot of local workers. Not a 100, not 200. 15 We're talking thousands. The work that needs to happen up 16 here is jobs. The money that needs to be made for our 17 families is only going to be through union jobs. And our 18 members, they need jobs. And that's what we're here --19 that's why we're here. And the developers made a 20 commitment, and they made them to everybody. And they --21 and they've done their due diligence, and they're working 22 with everybody in the community. And right now, I can say 23 that the union and the State Building Trades are 100-24 percent behind this project. Thank you. 25 MS. BADIE: Thank you.

> California Reporting, LLC (510) 224-4476

1 Next, we'll hear from Jim Chaplin. And then 2 after that, we'll hear from John Gable. If I've called 3 your name, please stand near the podium so we can hear you 4 right away. After John, we'll hear from Ruben Grijalva. 5 Jim, are you in the room with us? All right. We'll hear from John Gable next. 6 7 John, please spell your name for the record, and 8 we're asking for comments to be three minutes or less. 9 MR. GABLE: J-O-H-N, G-A-B-L-E. Good evening. 10 My name is John Gable, and I speak today on behalf of the 11 residents of Moose Camp. 12 Moose Camp opposes this project. Moose Camp is a 13 rural community of 50 cabins founded in 1929, where the 14 largest neighborhood with planned turbines is approximately 15 a mile away from our fence line. The main service road for 16 the entire Fountain Wind Project borders our fence line. 17 ConnectGEN does not want to identify Moose Camp on any of 18 their maps, including the ones we saw today, and they do 19 not consider putting key observation points so they would 20 know what we're going to see all the time. A couple fun 21 facts, ninety-six-and-a-half-percent of all wind turbines 22 are not in a forest. There must be a reason for that. 23 Number two, I wanted to bring up the fact that 17 24 million trees were planted after the Fountain Fire to cover 25 the burn. That's where these wind turbines are going to

> California Reporting, LLC (510) 224-4476

be. And plantation pine trees burn far faster and much worse than native growth forests. So that's an additional fact that I don't think anybody has taken into consideration. So -- and there's plenty of research on that that I've already pointed out.

I would like to bring up four alternatives to 6 7 building Fountain Wind. Number one would be repowering existing old turbines. The State of California has at 8 9 least 2,500 turbines that are over 17 years old. We could 10 repower any number of those turbines, all located not in a 11 forest, and that would greatly enhance the energy that we 12 would produce from renewable energy. Number two would be 13 offshore wind farms. There's enough wind off the 14 California coast, both in the Humboldt area and down south 15 to provide more energy than the state consumes at this 16 point. Number three, there are massive, massive wind 17 turbine farms being built in other states right now, along 18 with the transmission lines to get that power to California, especially to the Los Angeles area where it's 19 20 needed. I refer to New Mexico and Wyoming. Wyoming is 21 building a 900 wind turbine project right now with the 22 transmission line to the south state, which would provide 23 over 3,000 megawatts of power compared to 200 megawatts 24 with Fountain Wind. And last, but not least, California is 25 building renewable energy projects faster than they can

1 handle them, so that we are outpacing the ability to move 2 that renewable energy to where it needs to be consumed. 3 Therefore, it's pretty much fact from the California websites that the state curtails over 2.4 million megawatts 4 5 last year alone in renewable energy because they couldn't Thank you. 6 use it at the time. 7 MS. BADIE: Thank you. Next, we're going to hear from Ruben Grijalva. 8 9 After Ruben, we're going to hear from Shane Lauderdale. 10 MR. GRIJALVA: I quess it's good evening now. My 11 name is Ruben Grijalva, R-U-B-E-N, G-R-I-J-A-L-V-A. I have 12 36 years in the fire service, working actively as a 13 firefighter. I also have 10 years working as a consultant 14 in fire and life safety issues. Today, I'm here 15 representing ConnectGEN as a client. 16 During my career, I've been to plenty of 17 wildfires as Director of Cal Fire and the State Fire 18 Marshal of California. I was appointed by Governor 19 Schwarzenegger in 2004 and worked there through 2009. Mv 20 focus, however, was on fire prevention, not fire 21 suppression. When we get to the point where we're fighting 22 a fire, we've already lost the battle. We have to be 23 upfront with preventive measures. And in that regard, I 24 spent most of my career working on developing fire and life 25 safety codes and building code, fire code, mechanical code,

et cetera -- required fire sprinklers in every residence in 1 2 California, developed hazard maps for identifying where 3 hazards were and how to mitigate those hazards, increasing 4 defensible space requirements in 4291 -- I did that when I 5 was director -- and then we worked very closely, putting 6 together a committee to deal with developing a new standard 7 for how to protect structures in high -- very high fire 8 severity zones. And we developed Chapter 7A of the 9 California Building Code and Chapter 49 of the California 10 Fire Code. So an EIR should include consideration of all those measures. I had the opportunity to look at the 11 12 requirements that Cal Fire, Shasta County Fire placed 13 during the Planning Commission process in Shasta County, 14 and they're right on target with the kinds of fire 15 prevention measures that are necessary for this project. 16 I guess two points I would like to make that I 17 hope you can remember that is different than what you've 18 been hearing is that a project like this can actually 19 improve fire safety for the entire area, and it can improve 20

> California Reporting, LLC (510) 224-4476

forest health. One of the things we have not done well in

them, we haven't provided shaded fuel breaks, we haven't

done the kinds of prevention measures necessary to reduce

Somebody mentioned that aviation is the most effective

the risk of wildfire and to stop a rapidly moving wildfire.

We haven't thinned

California is maintain our forests.

128

21

22

23

24

1 weapon. Aviation is a good weapon. Fire prevention is the 2 most effective weapon. You have to build in fire protection. And this project does that. It builds in 3 4 shaded fuel breaks -- 687 acres of shaded fuel breaks. 5 They go beyond the 100 foot of defensible space, and they'll have two acres of defensible space below each wind 6 7 turbine. That's a huge fire prevention measure. The wind turbines themselves will have an internal fire 8 9 extinguishing system. And people have talked about a 10 number of fires here -- I'm going to run out of time here. 11 But none of those fires have ever come from turbines that 12 were provided with a fire extinguishing system. So you 13 look at the old fires and the new fires, it's night and day the way we build them today. 14 15 MR. BADIE: Thank you. 16 Next, we're going to hear from Shane Lauderdale. 17 After Shane, we'll hear from Anthony Gorman. 18 MR. LAUDERDALE: Good evening, commissioners and 19 staff. Thank you for the opportunity to address you. In 20 my 38 years in the fire service -- 24 years of that I did 21 in the City of Redding. And then I was the fire chief in

> California Reporting, LLC (510) 224-4476

Chico. I do not take any of the comments I will make

dedicated to finding a better way to protect our citizens

from fire, especially wildfire, as one of the operations

lightly. I've been -- I've spent my entire career

129

22

23

24

chiefs that's led the firefight of the Camp Fire, the
 Thomas Fire, and many other of the most devastating fires
 in California history.

4 So when ConnectGEN asked me to look at the fire 5 behavior that would be a result of the mitigations that Shasta County Fire has required as part of this project, I 6 7 went to my fire behavior analyst and had him start to do scientific evaluation of that fire mitigation. And what I 8 9 have found is that the resulting mitigations drastically reduce the fire threat to the area around this Fountain 10 11 Wind Project. Some of the modeling shows that fuel spread 12 rates reduce from 3,300 feet per hour to 330 feet per hour 13 where these mitigations are done. What's that change? 14 That change is the ability for firefighters to actually get 15 in on the ground and make access due to all these new road 16 systems and the shaded fuel breaks that are being built and 17 to stop a fire on those ridges before they extend. If this 18 had been the case when the Fountain Fire happened in 1992 19 when I was a firefighter in the City of Redding, 20 firefighters would have been able to engage the fire much 21 quickly -- much more quickly, pardon me. Unfortunately, 22 those mitigations weren't there, and they weren't able to. 23 And, as you know, your county -- the state is actively 24 trying to encourage shaded fuel breaks all over the state 25 to do this very thing. And so I don't know how we could in

> California Reporting, LLC (510) 224-4476

any way discourage a project that is going to add 600 acres of shaded fuel breaks and reduce the fire threat to the communities around the project. How could we want to stop something like that from happening? As a fire official, that's something I would encourage.

MS. BADIE: Thank you.

Next, we'll hear from Anthony Gorman. AfterAnthony, we'll hear from Tony Wilson Yiamkis.

9 MR. GORMAN: A-N-T-H-O-N-Y, G-O-R-M-A-N, Anthony Gorman. Good evening, Commission, members of the public. 10 11 I'm Anthony Gorman. I'm a staffer for Senator Brian Dahle, 12 who represents Shasta County in our state legislature. I'm 13 here on his behalf to voice his strong opposition to the 14 reopening of this application. The people of Shasta County 15 spent four years debating the Fountain Wind proposal and 16 lobbying their local elected officials to make a decision 17 that reflected their desires. Local governance worked, and 18 this issue was put to bed. It is nothing short of abusive 19 to the public to circumvent their desires and relaunch this 20 application process. On behalf of the senator and on 21 behalf of Shasta County, I strongly urge you to respect the 22 locally made decision, reject this application, and let the 23 community move forward. Thank you.

MS. BADIE: Thank you.

Next, we're going to hear from Tony Wilson

California Reporting, LLC (510) 224-4476

131

6

24

132

1 Yiamkis. 2 I'm sorry if I mispronounced your name, Tony. 3 After Tony, we'll hear from John Messina. 4 MR. YIAMKIS: Yeah. Tony, T-O-N-Y, Wilson, W-I-5 L-S-O-N, Yiamkis, Y-I-A-M-K-I-S. 6 Real quick, I just did some research, new 7 technology, bladeless wind turbines. And in Germany they 8 have SkySails, which are fully automated kites proposed to 9 offer -- in the near future are proposed to offer megawatt capability. So, like Brandy mentioned, we are about in 10 11 year seven now. So I was just thinking, you know, Henry --12 I mean, ConnectGEN, why don't you guys, like, invest in 13 some, you know, new technology? Because, you know, seven 14 years is a long time. If we can send astronauts to the 15 moon, now they're proposing maybe Mars, you guys could get 16 something going, you know. The Bladeless has no turbines. 17 Of course, SkySails have no turbine blades. So birds 18 migration, bats, other animals would be safe. We the Pit 19 River Tribe members have our own NEPA and CEOA. It is 20 called time immemorial knowledge. It's a powerful feeling 21 to know that your ancestors have been here and passed down 22 our history, stories, songs, and language for countless 23 generations. During the Shasta County Commissioner 24 Fountain Wind Project hearing and the Shasta County 25 Supervisors Hearing, I listened to numerous community

1 private landowners and area residents. They conveyed over 2 time that they have grown to understand and feel like us, 3 Pit River tribal ancestral people, that the whole 3.68 4 million Northeast California ancestral area is a sacred 5 site. Our tribal and mountain residence community has already issued a statement of overriding adverse impacts 6 7 for the proposed Fountain Wind Project. I'll leave it at 8 that.

9

MS. BADIE: Thank you.

Next, we'll hear from John Messina. And after John, we'll hear from another John, John Vona. Again, we're asking for comments to be three minutes or less, and we'll have a timer on the screen.

14 Please spell your name for the record as well.15 Thank you.

16 MR. MESSINA: John Messina, J-O-H-N, M-E-S-S-I-N-17 A. Good afternoon, honorable commission members and staff. 18 My name is John Messina. I'm a consultant. I was tasked 19 with evaluating this project and its impact to aerial 20 operations. Now, in response to the two gentlemen that 21 spoke earlier today, I've got a great respect from them. 22 One of them I worked for -- with for years. I'm going to 23 respectfully disagree with a couple of their comments, 24 except one. I am not an aircraft structural engineer. 25 That is the truth. That is a fact. However, I'll tell you

1 what I am. I've got 33 years in the fire service, and I 2 just recently retired as the Assistant Region Chief for Cal 3 Fire, overseeing all of Northern California operation and 4 resource management, including six operational units, which 5 include the Shasta unit. During that time, I've got 15 years of aviation experience, which includes aviation 6 7 supervision, which is the person that flies around and coordinates the aircraft attack on fires. 8

9 So there's a few things when I started to read the comments on this project. And there's a little bit of 10 11 perception that there's going to be some sort of Bermuda 12 Triangle created over this project area, one associated 13 with aircraft and aircraft's ability to function with that, 14 and that's just incorrect. There are hazards all 15 throughout California that our aerial operation can 16 function in and around on a daily basis. They're 17 successful with it. They put in mitigation measures to 18 address those things so that we reduce the risks associated 19 with those hazards. Specifically for this project, the way 20 that the project is laid out, there's clusters of wind 21 turbines with corridors of open space between the next cluster. Some of those clusters are over a mile in 22 23 distance, so that right there could give plenty of room for 24 our aircraft, whether it's fixed-wing or rotor wing to 25 function within those corridors.

135

So if there was (indiscernible 03:15:46) some 1 2 sort of hazard that was going to impede operation or create 3 some flight risk, every firefighter, including the aerial 4 supervisors, is trained in identifying those, making them 5 known, and then implementing mitigation measures to reduce those risks, simply as changing the direction of the entry 6 7 and the exit from the fire, changing the location where we deploy our aircraft, or utilizing a different type of 8 9 aircraft to implement the operation. A smaller S-2 aircraft, much more nimble and maneuverable, or 10 11 helicopters, which can get in tight spaces, and we could 12 utilize those in places where -- yes, there might be areas 13 where the DC-10 cannot function. However, that happens everywhere throughout California due to terrain, 14 15 visibility, smoke, and other hazards. In 2012 -- August 16 2012, I was dispatched out of the Chico Air Attack Base to 17 a fire -- a 12-acre fire that sat right next to the ridge -18 - the Hatchet Ridge Project windmill. That fire was 1,200 19 feet from those turbines, and we were easily and effective 20 with the aircraft, and it had no bearing on our action. 21 In closing, after analyzing this project, the 22 conclusion, the aircraft can operate in and around the 23 project, and the project is (sic) less than significant 24 impact on the aerial operation. Also -- and I know I just 25 got cut off. My final comment, the benefits of the -- as

stated before, the benefits of the ground mitigation, which 1 2 the increased road access, the fuel reduction, far 3 outweighs any restriction or negative impact that would be 4 created to the aircraft. Thank you. 5 MS. BADIE: Thank you. Next, we'll hear from John Vona. After John, 6 7 we'll hear from Danny Rolez (phonetic). 8 John, we're asking for comments to be three 9 minutes or less, and we'll have a timer on the screen. 10 MR. VONA: I'll be brief. John Vona, J-O-H-N, V 11 as in Victor, O-N-A. I work for FWS Forestry. We are the 12 timberlands manager for Shasta Cascade Timberlands on 13 behalf of our client New Forests. We manage approximately 14 450,000 acres on behalf of our client. And I'll respect 15 the request of not rehashing topics that have already been 16 spoken, but I will address the fire issue. 17 Over the past five years, we've lost about 30,000 18 acres to wildfire. We spent a lot of time talking to 19 firefighters at both Cal Fire and the Forest Service. An 20 often quoted topic that comes up is better access and fuel 21 breaks -- shaded fuel breaks, open fuel breaks along the 22 ridges, along strategic areas of the timberlands. And one 23 of the benefits of this project that we think is fantastic 24 is the Fountain planted stands or the Fountain plantations 25 that were established. We have about 30,000 acres of

> California Reporting, LLC (510) 224-4476

1 continuous pine cover along Hatchet Ridge. We need fuel 2 breaks. And when we talk to the public and people that are 3 not in our business, they say, why don't you just put in a 4 fuel break? And when you have immature timber, it's 5 extremely costly putting in fuel breaks, widening roads, and building fire resiliency. It's extraordinary. And so 6 7 having a partner that's willing to put in over 600 acres of 8 fuel breaks and also enhancing many miles of roads that will enhance the fire resiliency, we believe, and we are 9 not -- if this was a fire threat our client, we wouldn't 10 11 support this project. That's all I have. Thank you. 12 MS. BADIE: Thank you. 13 Next, we'll hear from Danny Rolez, and then we'll 14 hear from Matt Goody. 15 Danny, do we still have you in the room? 16 All right. We'll move on to Matt Goody next. 17 And after Matt, we'll hear from Beverly Wakefield. 18 MR. GOODY: Good evening. My name is Matt Goody, 19 M-A-T-T, G-O-O-D-Y. I am the president of the Northeastern 20 California Building and Construction Trades, which is a 21 labor organization that is based in Shasta, Tehama, 22 Trinity, Modoc, and Siskiyou counties. 23 So we represent thousands of workers in the area. 24 I have a tremendous amount of respect for the opinions that 25 were expressed. I do believe that some of the information

1 has been misconstrued in order to favor the opposition in 2 this project. Bottom line is I've lived in this area my whole life, 47 years. Fifteen, 20 years ago, you didn't 3 4 hear about these fires that raged out of control, these 5 mega fires that you can't put out and you cannot fight. Why are we seeing seeing this now? Climate change. 6 Why? 7 It is imperative for all of us to be stewards of this land, not just of Shasta County, not just of California, of this 8 9 planet, to take measures to mitigate the carbon footprint that we're having on this planet. It is imperative for us 10 11 to do that. And this project would significantly help and 12 reduce that carbon footprint. 13 To the gentleman's point of the biomass projects, those are good projects, cogen projects, great projects. 14 15 Three megawatts, the project that he spoke of in Shasta 16 County. Three megawatts as opposed to 205. So you would 17 need to put -- you know, quick math there -- 100 to equal 18 the output of this one project. So on behalf of the 19 Northeastern California Building Trades, we stand in 20 support of this project. Thank you. 21 MS BADIE: Thank you. 22 Next, we'll hear from Beverly Wakefield. After 23 Beverly, we'll hear from Gary Sharette.

MS. WAKEFIELD: Hi, my name is Beverly Wakefield.
B-E-V-E-R-L-Y. Wake up in a field, Wake -- W-A-K-E-F-I-E-

California Reporting, LLC (510) 224-4476

L-D. And I mean it, wake up in a field. I live directly 1 2 one mile away from the windmill towers that are going to be 3 If they happen, it'll be 600 feet tall. And as I erected. 4 go for my walk -- I have a MPH, a Master's in Public 5 Health. It doesn't mean miles per hour. And as I walk down that road, there'll be blades going. And when the sun 6 7 comes up in the east -- I'm directly west of the sun -- and I'll be seeing big shadows coming over my head as I'm 8 9 walking on the road, if you know what I mean by that. And so -- that's just one thought. And at night, when we go to 10 11 bed, if there's any kind of -- I have a degree in public 12 health. If there's any kind of effect on my husband not 13 being able to sleep at night -- he's a general contractor. 14 He understands what it means to build. He worked in Napa. 15 And when he built the Napa Hospital -- it's called the 16 Cancer Center -- they had to put a footprint in the ground 17 to do this project, and the footprint went down 50 feet to 18 be able to do a cancer reversing proton accelerator when 19 they built it. We understand that the footprint of this 20 project is going to be very deep, and you have to have a 21 deep footprint if you're going to hold up in the winds that 22 come up there -- because we live on the top of the 23 mountain. We know what those winds are like. They come in 24 the nighttime. If a windmill is put up -- I'm sorry, I'm a 25 little bit beyond my ability. So what I'm suggesting is

that it's really difficult because my husband lost his home 1 2 in that fire, the Fountain Fire that happened. There was 3 another fire that came also real close to our home two 4 years ago when I was at camp meeting on the coast in 5 California. Calling him on the phone, he says, "You can't come home. There's a fire near our home." It was 6 7 happening on a Tuesday, the very same week that the Carr 8 Fire hit Redding. They took the airplanes from Redding --9 from the Carr Fire and flew them out to our direction, put 10 out all that fire, because there was a substation right 11 next to us. And when the fire was put out, then they went 12 back to the Carr Fire. And guess what? The Carr Fire that 13 was not taken care of, it got out of control, it went right into Redding, and you know what happened. I'm standing 14 15 here now, but I do not know if I'll be standing here in 16 five years if there's a fire up there and those windmills 17 are up there.

18 I'm going to end with one more thought. We had a 19 neighbor come to our house, and he began to express to us, 20 "Hey, you know what? I made it past this certain area, and 21 I got to see in the woods up there where they're working. 22 The helicopters have been flying over a lot to take 23 something and do something over there where the windmill 24 project is supposed to be happening." And when he told us 25 that the footprints have already been laid -- large

141

1 concrete foundations have already been laid up there 2 already -- you can take a helicopter, you can take a 3 airplane trip and you can see it for yourself. Three of 4 them he saw -- I'm just giving his testimony in his behalf 5 right now. Thank you. Thank you. 6 MS. BADIE: 7 MS. WAKEFIELD: So it should be criminal to start 8 the project before it's been approved. 9 MS. BADIE: Thank you, Beverly. Next, we're going to hear from Gary Sharette, and 10 11 then we're going to hear from April Branson. 12 MR. SHARETTE: Gary Sharette, G-A-R-Y, S-H-A-R-E-13 I am a business representative for Laborers Local T-T-E. 185 here in Redding and represent over 1,000 members and in 14 15 favor of the project. Thank you. 16 MS. BADIE: Thank you. 17 Next, we'll hear from Eric -- excuse me, April 18 After April, we'll hear from Jeannie Frazier. Branson. 19 MS. BRANSON: Hi, my name is April Branson, and I 20 work for Local 185. I'm a union member, and I totally 21 support this project. 22 MS. BADIE: Thank you. 23 Next, we're going to hear from Jeannie Frazier. 24 After Jeannie, we're going to hear from -- I think it's 25 Eric Manley (phonetic). I'm sorry I can't make out your

1 first name.

2	MS. FRAZIER: Hi, Jeannie Frazier. J-E-A-N-N-I-
3	E, F-R-A-Z-I-E-R. And I'm a member of the Local 185. I've
4	lived in Shasta County for 62 years, so I think I got a lot
5	of you people beat here. But I've seen some our county
6	council makes some good decisions, some bad ones, push
7	through some good and some bad projects. I think that the
8	Fountain Windmill Project would be a very good project for
9	our county. I think we can all agree that electricity is
10	something that we're going to continue to need well into
11	the future. As Ms. Rickert, I also have grandkids, and I
12	know for a fact electricity is going to be a big part of
13	their life. I hope that you will approve this project.
14	Thank you.
15	MS. BADIE: Thank you.
16	Next, we'll hear from I think it's Eric
17	Manley. And after Eric, we'll hear from Mike Lamez
18	(phonetic).
19	Mr. Manley, are you here?
20	I don't know if it's a Eric or a Earl. Okay.
21	Thank you very much. So, next, we'll hear from Mike Lamez.
22	And after Mike, we'll hear from Milo Johnson.
23	Mike, are you still with us?
24	Okay. Let's move on to Milo Johnson. Thank you.
25	Just a reminder to spell your name for the record, and

we're asking for comments to be three minutes or less. MR. JOHNSON: My name is Milo Johnson, M-I-L-O, J-O-H-N-S-O-N. I currently reside in Bella Vista. I've lived in Shasta County for 40 years. I formerly lived in Burney.

6 As a young man I've hiked some of this area where 7 this project is proposed, and I've seen nesting bald eagles on that property. I'm here speaking against any more wind 8 generators in Shasta County. I live here because I think 9 Shasta County is one of the most beautiful areas in the 10 11 entire country in which to live. Seeing your first huge 12 windmill is a novelty. It's interesting, it's awesome. 13 It's amazing how big it is and the technology it 14 represents. But living in Burney, when you get tired of 15 seeing those windmills 27 times a day, 365 days a year, it 16 becomes an irritation. I consider the existing windmills 17 on Hatchet to be a visual blight on our beautiful rural 18 area, corrupting our views of the natural mountain 24 hours 19 a day. And they're visible up to 20, 30, 40, 50 miles 20 away. From here with the right binoculars without a tree 21 in the way, you can see them from here, over 50 miles away. 22 I don't want to see more of our natural surroundings 23 spoiled by the addition of more windmills. We have a 24 healthy population of bald eagles in Eastern Shasta County. 25 I've seen many. I believe the windmills are a threat to

the eagles and many other species of birds. If I inadvertently kill an eagle, it's a federal crime, and the penalty can be a year in prison and a \$250,000 fine. Is this project willing to spend a quarter million dollars for every eagle that their windmills kill? That would be a mitigation.

7 I believe that if the installation of more wind turbines is justified, they should be placed in the middle 8 9 of the Mojave Desert, where almost no one will have to look 10 at them every day, or offshore. Many of the stated goals 11 that we heard -- these environmental goals are arbitrary, 12 and the timeframes are arbitrary. It's not Shasta County's 13 job to save the world. Our beautiful Shasta County is too precious to be degraded by the installation of more wind 14 15 turbines. Please do not approve this project. Thank you. 16 MS. BADIE: Thank you.

Next, we're going to hear from Doyle Radford, Jr.
And after Doyle, we're going to hear from Steven Spangle.
MR. RADFORD: Good evening. Doyle Radford, D-OY-L-E, R-A-D-F-O-R-D. I'm Doyle Radford. I am the
business manager of Construction and General Laborers Local
185. We are located at 2210 Twin View Boulevard. That is
the orange building right along I-5.

And you heard from two of our matriarchs -- two of our proud members who we've been building the community

1 since 1929. We've worked on local projects such as the 2 Shasta Dam, and more recently -- we have tremendous respect 3 for the first responders. Our men and women are the second 4 responders who are tasked with cleaning up the Carr Fires, 5 the Camp Fires, and so we're sensitive to that as well. That's not the work we like to do, but we're out there 6 7 doing it. And we're the backbone of the community. We 8 view this as a good project. We have over 400 men and 9 women that live in Shasta County. My colleague, Mr. Mark Mulliner, he stated that 20 of them were here. There was 10 11 18, 19. The reality of it is they support their families. 12 They have to get up and work in the morning. So those who 13 stuck around to speak, thank you. Understood why they had 14 to leave because we get up early, and we have to travel 15 well outside of the community for work. Most of them do not get to work in Shasta County. If this project does go 16 17 through, we look forward to building this with our local 18 men and women and also possibly bringing on some local 19 apprenticeship from the local surrounding community. So 20 once again, we support this project, and we thank you for 21 your time and your consideration. 22 MS. BADIE: Thank you. 23 Next, we're going to hear from Steven Spangle. 24 And after Steven, we'll hear from Ben Scott. Okay. Thank

25 you. Do we have Ben Scott with us still? Okay. How about

we have Joe Schykerynec, and then Peter Scales 1 2 MR. SCHYKERYNEC: Close with the last name. 3 MS. BADIE: Sorry. 4 MR. SCHYKERYNEC: It's all right. It's been a 5 problem for 40 years. Joe Schykerynec, J-O-E, S-C-H-Y-K-E-R-Y-N-E-C. Good evening. Thank you for your time. 6 We 7 really appreciate it. I am here on behalf of the State 8 Building and Construction Trades Council of California, and 9 I'm also a proud North State resident. 10 I believe that North State has some of the 11 hardest working people anywhere, people that want to work, 12 earn a living wage, and take care of their families. The 13 North State needs more opportunities to help its residents 14 earn a way into the middle class. Too many Shasta County 15 construction workers need to travel, just like my brother 16 said a minute ago, sometimes hours away from home just to 17 earn enough money to survive. I do that every day. I've 18 worked in Sacramento for the last two years as a 19 legislative aid, so I'm not used to speaking out in front 20 of people, so a little nervous. 21 The Fountain Wind Project will provide the 22 opportunities for its residents to earn a living wage, to have excellent healthcare and retirement benefits. This 23 24 project will have pre-apprentice and apprenticeship 25 standards that create those opportunities for people that

> California Reporting, LLC (510) 224-4476

1 want to get educated while earning a paycheck. This will 2 create opportunities for our youths graduating high school. 3 College is great, but it's not for everybody. The military 4 is great, it's not for everybody. I have a son in the 5 army, a daughter in college, and two more that need to decide what they want to do. I hope one of them chooses 6 7 the trades. For those individuals that want to get to work 8 and learn on the job site from the highest trained workers 9 that there are, getting a skilled and trained education, that is what this project will provide. Earlier, and from 10 11 the presentations throughout the day, other benefits have 12 been spoken about, so I'm not going to read the rest of my 13 public comment. But for the sake of time, I'll leave it at 14 that. Thank you for your time. 15 MS. BADIE: Thank you.

Next, we'll hear from Peter Scales. And after Peter, we'll hear from Radley Davis. Just a reminder, we're asking for comments to be three minutes or less.
Thank you.

ME. SCALES: P-E-T-E-R, S-C-A-L-E-S. So far today, all I've heard is about me, me, me, what's good for me. I spent 11 years in my youth traveling around the world, been down the Amazon River. I'm reading a book about Roosevelt out right now, River of Darkness, having been down there, and my world is America. Hat Creek is a

1 small section. What I object about the -- and do you know 2 what, I've got to throw in here, I strongly object -- I 3 don't mean to be offensive. It's hard to criticize America 4 when you've got an accent, but believe you me, I'm more 5 American than most. And you guys -- nothing personal 6 against you guys. I strongly object to how you guys got 7 here with this 205. I also strongly object to how people 8 like you and that a-hole Newsom turned around and got 9 involved in the Dominion Voting Machines here. You did --I find it quite evil. There's so much evil in America 10 11 right now, it's -- I'm disgusted by it. But listen, 12 getting back to these windmills, with all due respect to 13 that dear doctor, I don't know what he's been looking at 14 for the last 30 years, but I find these windmills 15 absolutely ugly. And being a tradesman, I understand the 16 working of them. They're inefficient. Are you guys going 17 to be climbing up those -- labor guys -- union guys are too 18 fat and lazy. You go up -- get through 600 feet up the 19 bloody ladder to replace the -- yeah. All right, mate. 20 Anyway, so you've got it all here. What the gentleman 21 said. I've only heard of one -- you've got to get away from these windmills. They're positively ugly. In 30 22 23 years down the road -- and you want to put up 740 more 24 projects of these all around California? This is what --

25 this is what -- we're putting men on the moon, and this is

1 what we're coming up with -- listen, the solution is this, 2 35 million acre feet of water fell on Northern California 3 in the last year. Twenty-nine million of it went into the 4 bloody river. It went into the ocean. What's the cleanest 5 energy in the history of America or in the world? Hydro. Well, forget nuclear stuff. Hydro energy is the cleanest 6 7 energy. You have to use that water. Get rid of these 8 bloody windmill nonsense and use dams. We're short of 9 water, get reservoirs. You can use -- allow the same 10 amount of water into the ocean if you want. Hydro energy 11 is the cleanest and cheapest form of energy. The cost of 12 energy here in Shasta County is outrageous, \$0.40 a 13 kilowatt hour. In Washington State up there, it's \$8.16 14 for a kilowatt hour. Wake up. I can't believe there's so 15 many stupid bloody people around. 16 MS. BADIE: All right. 17 Next, we're going to hear --18 COMMISSIONER GALLARDO: Real quick, this is 19 Commissioner Gallardo. We will accept people's opinions 20 and perspectives, but please avoid profanity and insults, 21 or else we will have you escorted out. 22 Please be respectful, sir. 23 We need to continue with public comment. Thank 24 you. 25 MS. BADIE: Next, we're going to hear from Radley

Davis. After Radley, we'll hear from Rachel Hunerlach and 1 2 Cody Freitas. Radley, do we still have you in the room? 3 4 I'm sorry. Next, we'll hear from Rachel 5 Hunerlach. And after Rachel, we'll hear from Cody Freitas and Jeff Hunerlach. 6 7 MS. HUNERLACH: Good evening, commissioners. 8 Rachel Hunerlach, H-U-N-E-R-L-A-C-H. I'm a graduate 9 apprentice through the Operating Engineers. I support this project. We need good paying jobs in this area, not having 10 11 to travel four, five hours to have a good paying job. This 12 is good for the environment, and it's good for the local 13 economy. Thank you. 14 MS. BADIE: Next, we'll hear from Cody Freitas, 15 and then Jeff Hunerlach. And after Jeff, we'll hear from 16 Gary Cadd (phonetic). 17 MR. FREITAS: Well, My name is Cody Freitas, C-O-18 D-Y, F-R-E-I-T-A-S, and I'm a member of Operating Engineers 19 Local 3. I'm here to voice my support for the Fountain 20 Wind Project. I was just going to speak on my own behalf, but since I'm more than able to commit time here tonight 21 22 and a lot of my fellow members had to leave, I'll speak on 23 their behalf as well. We need projects like this in order 24 to put our best foot forward in combating climate change 25 now while mitigation is still feasible. We need projects

1 like this to create jobs for local skilled craft workers so 2 we can apply the skills we have gained over our careers to 3 benefit the communities we live in, skills mostly gained by 4 having to follow work away from our families and homes. 5 This is an opportunity to build up resilience in our energy 6 dependency, support our local area by having local workers 7 staying at home, spending the money they earn where they live and at local businesses. We need projects that will 8 9 provide sustainable industry and new career paths for local students that will ultimately see the benefits of this 10 11 work. I hope you can see the benefits proposed here, and 12 thank you for your time. 13 MS. BADIE: Thank you. 14 MR. HUNERLACH: Jeff Hunerlach, H-U-N-E-R-L-A-C-15 I'm a Jeff Hunerlach. I'm a Operating Engineers Η. 16 District Representative and a Renewable Energy Advocate 17 with my local union. Tonight I want to talk a little bit 18 about -- you know, we talk about the Fountain Project. We 19 talk about the offshore wind projects. We talk about, you 20 know, five of them in the ocean. And in every case where 21 we are today, it's like, not in my backyard. Not here, not

> California Reporting, LLC (510) 224-4476

there. Then where? I mean, where are we going to -- how

going to move forward with getting away from fossil fuel in

a responsible manner? This is the history that we need to

are we going to ever change climate change? How are we

151

22

23

24

change because it's killing our youth, it's killing our 1 2 ocean, it's killing our animals. And if we don't do 3 something soon, it's going to be killing all of us, because 4 it already is and we just don't see that. We support this 5 project, the Operating Engineers wholeheartedly. Our 40,000 members stand behind with the State Building Trades, 6 7 the local unions here in this district. We need to go to 8 work. The people need to go to work. We need to bring 9 more people in. We need help in doing this. So I would hope that you follow AB 205 and make this project happen 10 11 here locally for the people. They're not ugly. Some 12 people may say so. I say they're beautiful, and they are 13 going to combat climate change. It's happening around the 14 world, East Coast, over in Europe. People ought to get on the line and look at that stuff. Have a good evening. 15 16 Thank you for your time. 17 MS. BADIE: Thank you. 18 Next, we'll hear from Gary Cadd, if we still have you, and then Bradley McKinney. 19 20 MR. CADD: Well, thank you for the time. First 21 off, I would like to say that when we were working on the 22 Fountain Wind Project and stopping it a couple of years 23 ago, the actual windmills were going to be close to 700 24 feet -- 670, 680, something like that. Those blades that 25 were going to go on those windmills were 280 feet long.

> California Reporting, LLC (510) 224-4476

1 They were produced into three different pieces and then 2 trucked in and then bolted together. Now, I don't know 3 what they're going to be -- 600 feet, 575. It's still 4 going to have somewhat the same problem. At that time when 5 ConnectGEN was making their offer, they said that they would not set -- they would -- I'm sorry, would not shut 6 7 the windmill farm down during a red flag situation. Well, 8 that's probably about the best way to catch something on 9 fire. The planes when they come in -- stop and think of this a second. You've got a forest, and let's say the mean 10 11 height of the forest and the trees is -- let's just say 200 12 feet. It's not quite that, but let's say it's 200 feet. 13 Then you're going to turn around and put some windmills, 50 14 to 75 of them, in there that are an additional 200 feet 15 taller. And you are going to be a pilot to fly in -- and 16 they're spinning, and they've got vortex like you wouldn't 17 believe. And you're going to have the pilot fly in there? 18 They've got to stay probably close to a half mile away from 19 that from causing them a problem. Keep in mind -- is this 20 the only site in Shasta County? Henry knows. No, it's 21 There's an additional five more -- Bally (phonetic), not. 22 McCloud. So if this were to go through, we would have 23 windmills -- Bally, McCloud, all over. There's been no way 24 So I think it's a real good idea to just table to stop it. 25 this issue and force all to go home. Now, I know that I'm

1 -- the union people are going to get mad or they're already 2 mad at me, but the safety is what we're talking about. And 3 without safety, we don't even have a community. I'm not 4 going to take any more time. Thank you very much.

MS. BADIE: Thank you for your comment. So just to announce, we have about 14 more blue 7 cards in the room. If you have not turned in a blue card and you would like to make a comment, please do so now. And after we do the in-person comments, we'll move to Zoom. We have about six people who've raised their hand on Zoom. And, again, if you want to raise your hand on Zoom and you're online, use the raise hand feature. It looks like a open palm on your screen. And if you're joining us by

14 phone, you'll press star nine to raise your hand. That 15 will tell us that you would like to make a comment from 16 Zoom.

17 All right. So we're going to hear from Bradley 18 McKinney next, and then (indiscernible 03:46:15) Farr 19 (phonetic). Sorry if I've mispronounced your name. Thank 20 you.

21 MR. MCKINNEY: Hi, I'm Bradley McKinney, B-R-A-D-22 L-E-Y, M-C-K-I-N-N-E-Y. I'm a business representative for 23 Laborers Local 185. I support this project. I've lived in 24 Shasta County. I'm a fifth generation Shasta County 25 resident, lived here all my life, so has my family. And

> California Reporting, LLC (510) 224-4476

5

6

8

9

10

11

12

I've been in the field working in construction for 30 years. Just started this job November 1st, but I spend a lot of time on the road away from my family having to go away to projects. So I support projects like this that are going to give our local laborers jobs right here in the county, and their money also will be spent back into the county. So I definitely am all for that and approve that.

And from what I've seen and heard, like, for the 8 9 fire danger, the Hatchet Ridge has been there for how long, and has there been any fires caused from it? Not that I 10 11 know of. And I just think that it would be a great project 12 because it'll bring money into the community, and our 13 workers will spend their money in the community too, and 14 people will get -- learn their trades and stuff, 15 apprentices and everything. So I support this project, and 16 thank you.

MS. BADIE: Thank you. Next, we'll hear from Jim Farr. And after Jim, we'll hear from James Steadman. Okay. Do we still have James Steadman? All right. We have a card for Ray Thomas and also Andy Main. MR. THOMAS: Good evening. It's Ray Thomas, R-A-Y, T-H-O-M-A-S. I'm here with my brother, Lee. We've been here for 55 years. We live in District 3 where this

24 project is proposed, and we support the project for quite a 25 few reasons, the most important being that California needs

1 the green energy to support the grid.

2 You've heard the anger or at least you've read it in the papers. When there are blackouts, they hold the 3 4 state responsible. There's lawsuits, there's deaths when 5 there's blackouts. And if you go back to the blackout in 2020 in California, most would consider a mild summer, you 6 7 had 800,000 homes and businesses out of power. So your 8 responsibility, as I understand it, is to move us towards 9 green energy and make sure that our grid is electrified.

10 Those blackouts in 2020, similar to others, were 11 due to the lack of hydro energy because of the droughts. 12 We need green energy to back up green energy. We need the 13 jobs, of course. The local revenue's great. But the most 14 important thing is to protect our grid, make sure that it's 15 energized. And when you're looking at them -- as you 16 consider these projects and you consider everything that 17 you've heard, please don't let it be lost on this 18 commission that you're talking about private investment on 19 private property that's shovel-ready and green. We need 20 this project. Thank you.

21

MS. BADIE: Thank you.

Next, we'll hear from Andy Main, and then we'll hear from Bill Walker. Again, we're asking for comments to be three minutes or less, and please spell your name for the court reporter, please.

1 MR. MAIN: Andy Main, A-N-D-Y, M-A-I-N. I'm a 2 lifelong resident of Shasta County. I was born here almost 3 69 years ago. I know I don't look that old. I have a long 4 history up here. I lived in the Intermountain area for 10 5 years. My family was in the sawmill business, so we were -- we needed the natural resources that we have. I'm here 6 7 to speak on behalf and in support of the Fountain Wind 8 Project.

9 I built a power plant back in the 1980s in small town of Bieber, California. We built 18 miles of power 10 11 lines. We burned, and I believe in cogeneration. I think 12 it's a great resource, but we need projects like Fountain 13 Wind because our country needs it. Just like the gentleman 14 before me spoke, we live in a growing world. I live in --15 right now, I live in Palo Cedro. I've been there for 16 almost 30 years. Our community has tripled in size in those 30 years. It's growing. We can't stop the growth. 17 California is growing. People are coming to Shasta County. 18 19 We need more resources. We're putting electric cars, we're 20 doing solar. We need a balance of everything, and that 21 includes wind, as well as hydro, as well as cogeneration. 22 There's a balance. And we need to be able to allow you 23 folks who are representing us to do this.

I was in support of it before. Staff was in support of this before. Fountain Energy came in, they went

1 through the application process. All the requirements that 2 they had to do, staff went over it with a fine-tooth comb and said, "Hey, it looks good to us." And because of the 3 4 needs of a few people, I think the Planning Commission and 5 the Board of Supervisors changed their mind on it. And I'm hoping that maybe you'll see that what is good for the many 6 7 people -- what's good for the masses might outweigh what the needs of the few are. 8

9 So I would like to -- I would like to get rid of gas and oil. I think that the carbon footprint is 10 11 important. I'm not a big believer in climate change, but I 12 do think that we all need to do our little part as a 13 community, as an individual, as a state, as a nation to 14 improve our ability to make clean energy to supply the 15 needs of a growing nation. That's all I have. Thank you 16 very much.

17

MS. BADIE: Thank you.

18 Next, we'll hear from Bill Walker, then Lori19 Castillo Dimon (phonetic) and Glen Hodges.

20 MR. WALKER: Hello, my name is Bill Walker. It's 21 B-I-L-L, W-A-L-K-E-R. I was a planner with Shasta County 22 for 30 years until I retired in 2018, and I was the lead 23 planner on the Hatchet Ridge Wind Project.

24Today, I want to address the concerns about the25safety of aerial firefighting around large wind turbines as

1 proposed for the Fountain Wind Project. When the original 2 Fountain Wind Project was reviewed by Shasta County 3 Planning Commission, perhaps the most important finding 4 that the Commission made in denying the use permit for 5 Fountain Wind was the commissioner's concerns about the 6 safety of aerial firefighting around large wind turbines. 7 As you may be aware, most of Shasta County, including the proposed project site, is identified by Cal Fire as a high 8 9 fire hazard area. In the event of a wildfire in the area, a very important factor in the effectiveness of 10 11 firefighting will be the use of aerial firefighting, 12 including air tankers, dropping fire retardant, and 13 helicopters making water drops.

14 At the County Planning Commission hearing on the 15 Fountain Wind Project and here again this evening, two or 16 three pilots who said they had aerial firefighting 17 experience stated that a large area around the proposed wind turbines would be unsafe for aircraft to the degree 18 19 that aerial firefighting could not be used to fight a 20 wildfire, and therefore firefighting efforts would be 21 seriously compromised. They strongly urged that the 22 project be denied for safety reasons. However, prior to 23 the Planning Commission meeting, I contacted Cal Fire 24 Aviation Program, which, by the way, is the largest civil 25 aerial firefighting fleet in the world. Cal Fire had not

1 adopted or stated any concerns about aerial firefighting 2 and large wind turbines. Let me repeat that. Cal Fire has 3 not adopted any policy or stated any concerns about aerial 4 firefighting and large wind turbines, and yet they're the 5 agency that will be charged with doing the aerial 6 firefighting. So it appears that the Shasta County 7 Planning Commission decision to deny the use permit for the Fountain Wind Project was not based on adequate and 8 accurate information. If the Commission had more accurate 9 10 information, it may have reached a different decision.

11 After the denial of the Fountain Wind Project and 12 based primarily on the unfounded wildfire fighting safety 13 concerns, the county adopted an ordinance prohibiting large 14 scale wind projects throughout Shasta County. At the 15 present time, there are at least 10,000 large wind turbines 16 in California. Let me repeat that. There are 10,000 large 17 wind turbines in California. It stands to reason that if 18 these turbines present a safety concern for aerial 19 firefighting, Cal Fire would adopt policies or advisories 20 regarding this matter. I have tried to update this 21 information.

In summary, the issue of aerial firefighting and safety around large wind turbines clearly needs to be comprehensively revisited and hopefully resolved in the EIR for this project. Thank you.

Thank you for your comment. 1 MS. BADIE: 2 Next, we'll hear from Lori Castillo Dimon, and 3 then Glen Hodges. 4 Lori, do we have you in the room still? 5 Okay. How about Glen? Stephanie Anderson? Codv 6 Strauch (phonetic)? Nancy Rader? 7 MS. RADER: Good evening. My name is Nancy Rader with the California Wind Energy Association, and that's 8 9 spelled N-A-N-C-Y, R-A-D-E-R. 10 We're here today because last year, California 11 enabled a statewide perspective when deciding renewable 12 energy projects just as it did in 1974 when local 13 governments were failing to approve the oil, gas, and nuclear plants that were needed to support the state's 14 15 growing electricity needs. 16 Most of those power plants, as well as oil 17 refineries, resided in populated, urban, and scenic areas. 18 Now, we're all suffering the climate change impacts of 19 those fossil fuel facilities, wildfires, floods, droughts, 20 and the dramatic loss of biodiversity known as the sixth 21 mass extinction that is unfolding before our eyes. And so 22 California has adopted policies that require a dramatic scale back of our reliance on fossil fuels as well as our 23 24 gasoline powered cars and the natural gas we use in our 25 buildings. And that can only be done by building renewable

> California Reporting, LLC (510) 224-4476

energy facilities where renewable resources exist,
 including the limited commercially viable wind resources in
 Shasta County.

4 The latest plan to meet our goals from the Public 5 Utilities Commission will require an additional 12,000 megawatts of wind energy in or near California by 2045 in 6 7 addition to nearly 100,000 megawatts of other clean energy 8 resources, including out-of-state wind and offshore wind, 9 solar energy, energy storage projects. And that's after 10 factoring in rooftop solar and what -- everything we can do 11 to reduce our energy consumption.

12 It's important to understand that including a lot 13 of wind energy in the portfolio to balance daytime solar 14 energy production dramatically reduces the total resources 15 we are going to need. A good wind/solar balance reduces 16 overall capacity needs by about 30-percent, which will help 17 us to achieve our goals in many ways. But 12,000 megawatts 18 of instate wind will require 60 new wind projects the size 19 of Fountain Wind. That means it'll be near impossible to 20 achieve our goals if well-studied projects on active 21 timberland like Fountain Wind are turned down.

While there is no energy source of any kind that does not create impacts, let's keep in perspective that non-polluting wind projects will reduce air pollution and climate change gasses, allowing all Californians to drive

> California Reporting, LLC (510) 224-4476

1 cars, turn on the lights, heating, and air conditioning as 2 the earth warms. Fountain Wind is the only wind project 3 currently moving forward in a permitting process in 4 California to my knowledge. In part because it's so 5 difficult to go through the local permitting process where the statewide view is not taken into account, the CEC's 6 7 opt-in siting process really must work if the state is to 8 meet its greenhouse gas reduction goals, because saying yes 9 to Fountain Wind will demonstrate the continued ability to develop wind in California so we can find those other 59 10 11 wind projects. A denial would all but declare California 12 off limits to wind energy, sabotaging our critical clean 13 energy targets. Thank you. MS. BADIE: Thank you. Next, we'll hear from 14 15 Bradley Barker (phonetic) and then Jesse Rouse (phonetic). 16 Bradley, do we still have you in the room? 17 How about Jesse Rouse? 18 Beth Messick-Lattin, do we have you in the room? 19 Thank you, Beth. Just a reminder, we're asking for 20 comments to be three minutes or less, and please spell your 21 name for the court reporter as well. 22 MS. MESSICK-LATTIN: Beth Messick-Latin, B-E-T-H,

M-E-S-S-I-C-K L-A-T-T-I-N. I, along with a few others in the area, are the Hill Punt people of Eastern Shasta County. We're used to being ignored and treated with

1 disdain by many, including our own county government at the 2 beginning of this involvement with ConnectGEN. Our own 3 planning department treated us with disrespect, and 4 eventually -- but eventually, we were being heard by our 5 planning commissioners who ended up doing their own research. We said no, they said no, the Board of 6 7 Supervisors said no, and were so appalled that they changed 8 the zoning, but still ConnectGEN says, "We don't understand." 9

10 We understand that Governor Newsom and 11 Californians need more electrical power. We're not opposed 12 to green energy, but there's a right place for the right 13 project. And in one of the highest fire dangers in 14 California and complex forests like we have, that has never 15 been done before. It's not the place. We understand that 16 the forest companies needs other ways to fund their forest 17 as they're now hampered by inability to do clear cuts and 18 fire locks. We understand that the unions need their jobs, 19 but if you actually look at how many people are hired by 20 Pattern as opposed to what they promised to hire, you'll 21 discover that very few people from Shasta County were 22 hired.

We understand that ConnectGEN wants to get their project since they've invested large amounts of money and time. We understand that TANC and the Federal Department

> California Reporting, LLC (510) 224-4476

1 of Energy are watching this project's movement. We 2 understand that most do not have a relationship with the 3 land and what is a good fit. We understand what it's like 4 to be in the middle of an electrical field, and this with 5 the further expansions, Section 3, and then following McCloud. And the others that (indiscernible 04:02:29) 6 7 originally studied is only going to increase that electrical field. 8

9 We understand that the California Department of 10 Forestry does not, in fact, have a policy. They leave 11 judgment to the pilots to make a decision whether they can 12 fly the area or not. But we question the decisions of Cal 13 Fire in regards to pilots and everything since their salaries are paid by the governor who wants this energy 14 15 project passed. We understand that our fire-scorched earth 16 better than you guys do. And as Joni Mitchell says, do we 17 really want to pave paradise with wind turbines instead of 18 parking lots?

19 MS. BADIE: Thank you.

20

25

Next, we'll hear from Patrick Wallner.

Patrick, if you can approach the podium, we're asking for comments to be three minutes or less. And if you can also spell your name for the court reporter, that would be appreciated.

MR. WALLNER: Sure. Thank you. My name is

California Reporting, LLC (510) 224-4476

1 Patrick Wallner, P-A-T-R-I-C-K, W-A-L-L-N-E-R. I'm a 56-2 year resident of Shasta County, a gubernatorial appointee 3 for three governors for the past 22 years, and also 4 recently served over 10 years on the Shasta County Planning 5 Commission until my primary residence was redistricted in December of 2022. I'm also a past president of the 6 7 California County Planning Commissioner's Association. 8 With that, I want to say thank you for traveling up here to hear. I've sat on that side of the table before for this 9 particular issue. I chaired the Fountain Wind Project on 10 the Planning Commission on -- in May of 2022 for their 11 12 final EIR. I have read thousands and thousands and 13 thousands of pages of CEQA, public submitted documents, and 14 took testimony from hundreds of people opposed to and in 15 favor of the Fountain Wind Project over the previous three 16 years. I was also the chairman of the Planning Commission 17 when we decided to draw the -- we directed the staff to 18 draw up an ordinance to ban -- banning the large wind 19 project in our county for many reasons, including a vast 20 majority of our county being designated as this high fire 21 danger or extremely high fire danger. Most importantly, 22 tribal cultural resources will take and suffer irreparable 23 harm with this project. AB 52 was the state's answer to 24 enhance consultation and coordination with the Native 25 Americans. And does AB 205 override AB 52, or does that

167
-----

1 enhance that?

I'm also a private pilot and a small aircraft
owner since 1998, and those towers scare the heck out of me
the ones up there on the Ridge do now. The wake vortex
make me want to reconsider flying anywhere near that area.
And by the way, the many rural airports in the eastern
part of Shasta, Modoc, and Lassen Counties are along that
flight corridor that passes directly over those towers.
And I just want to say thank you again, and safe travels
home.
MS. BADIE: Thank you.
So before I transition to our Zoom attendees, I
just want to make sure I've called on everyone in the room
that wanted to make a comment. If you did not fill out a
that wanted to make a comment. If you did not fill out a
blue card and you want to make a comment, can you please
_
blue card and you want to make a comment, can you please
blue card and you want to make a comment, can you please raise your hand now? Okay. Great. Thank you so much.
blue card and you want to make a comment, can you please raise your hand now? Okay. Great. Thank you so much. I'm going to transition to our Zoom attendees.
blue card and you want to make a comment, can you please raise your hand now? Okay. Great. Thank you so much. I'm going to transition to our Zoom attendees. Just a reminder, if you are joining us by Zoom,
blue card and you want to make a comment, can you please raise your hand now? Okay. Great. Thank you so much. I'm going to transition to our Zoom attendees. Just a reminder, if you are joining us by Zoom, please use the raise hand feature on your screen to let us
blue card and you want to make a comment, can you please raise your hand now? Okay. Great. Thank you so much. I'm going to transition to our Zoom attendees. Just a reminder, if you are joining us by Zoom, please use the raise hand feature on your screen to let us know you would like to make a comment. And if you're
blue card and you want to make a comment, can you please raise your hand now? Okay. Great. Thank you so much. I'm going to transition to our Zoom attendees. Just a reminder, if you are joining us by Zoom, please use the raise hand feature on your screen to let us know you would like to make a comment. And if you're joining by phone, you can raise your hand by pressing star
blue card and you want to make a comment, can you please raise your hand now? Okay. Great. Thank you so much. I'm going to transition to our Zoom attendees. Just a reminder, if you are joining us by Zoom, please use the raise hand feature on your screen to let us know you would like to make a comment. And if you're joining by phone, you can raise your hand by pressing star nine, and I'll call on folks that have raised their hands.

1 your name for our court reporter. Pete, your line is open. 2 MR. MARSH: Thank you. Yes. Good evening. Thank you very much for allowing us the opportunity to 3 4 comment. Pete Marsh. I currently live in Southern 5 California. I lived in Shasta County and started my solar contractor business in Shasta County. In 2015, I relocated 6 7 for family reasons, but I remain engaged in business in 8 Shasta County as a consultant to other solar and energy 9 storage projects. 10 I developed and taught a course from 2019 to 2021

11 for Shasta College Community Education on global warming --12 causes, impacts and solutions -- for three semesters. And 13 the core of what I would like to say today is, you've heard 14 a lot about the impacts of building Fountain Wind, and I 15 would like to focus on the opposite, the evidence-based 16 impacts of not building Fountain Wind. Please make sure 17 the analysis includes robust analysis of the impacts that -18 - of the fossil fuel plants that will continue to operate 19 if this project is not built. Fossil fuel currently 20 comprises of around 60-percent of our national 4,000 21 terawatt hours per year of electrical energy, and we need 22 to replace that with wind and solar and other renewables as 23 rapidly as we can. And as the United Nations Secretary-24 General Antonio Guterres says, we have to do everything 25 everywhere all at once. My three granddaughters and the

grandchildren and children of everyone in the room there
and in the county -- a livable future depends on that.

3 So in addition to the climate change impacts of fossil fuel combustion, one thing that we haven't heard 4 5 about tonight is the human health impact of fossil fuels. Multiple peer-reviewed studies conclude that air pollution 6 7 from fossil fuel combustion causes seven to 10 million premature deaths annually. Think about that. We willingly 8 9 accept the death of about one-percent of our fellow humans every decade because we've become blinded to the harm that 10 our current energy system causes. I did some calculations, 11 12 and the 205 megawatts of Fountain Wind with its 13 approximately 33 to 34-percent capacity factor will 14 generate around 605,000 gigawatt hours of very low carbon 15 energy. Fossil fuel, if we continue to allow gas plants to 16 run -- to generate that amount of energy, that'll generate 17 80 times as much greenhouse gases, and natural gas plants 18 somewhere will burn the equivalent of 11 tanker trucks of 19 qas per day every day for 35 years. So a number of 20 speakers have commented on the need to think about global 21 humanity, not just our own backyards. My own backyard is 22 no longer Shasta County, but I was there, and it was 23 scarred by the Carr wildfire. My neighborhood lost seven 24 or eight out of about 30 homes during the Carr wildfire. Ι 25 understand the impacts.

1 So, again, please consider the global impacts. 2 Please approve the project. I'll be submitting written 3 comments with a list of resources. Thank you. 4 MS. BADIE: Thank you. 5 Next, we have Laura Hobbs. Laura, I'm going to open your line. We're asking for comments to be three 6 7 minutes or less. There'll be a timer on the screen, and 8 please spell your name for the record. Laura, your line is 9 open. You'll have to unmute on your end. Laura, we're 10 not getting audio from your line. I'm going to move on to 11 the next person. I'll come back. 12 John Lammers, I'm going to open your line. We 13 ask that comments be limited to three minutes or less. 14 There'll be a timer on your screen. I'm going to open your 15 line now. 16 MR. LAMMERS: Good afternoon. Can you hear me? 17 MS. BADIE: Yes. 18 MR. LAMMERS: Perfect. My name is John Lammers, 19 J-O-H-N, L-A-M-M-E-R-S. I'm here today representing the 20 Lammers family to express our concerns and strong 21 opposition to the proposed Fountain Wind Project. Much of 22 what I'm going to go over in the next few minutes is 23 outlined in a presentation that will make everything have a 24 little more sense with pictures that has been previously 25 uploaded.

The Fountain Wind Project is literally in our 1 2 backyard. You know, easily seen in the aerial views, our 3 family ranch would be surrounded by giant turbines. We 4 have owned and operated the small cattle ranch for over 90 5 years. However, to my 30 plus family members, the ranch property is much more than a cattle business. We all have 6 7 a very emotional attachment to the property as it's been a 8 place for recreation, family gathering -- gatherings, 9 barbecues, and weddings. In fact, I was married on the 10 property 33 years ago. My daughter had her wedding there 11 last June, my niece last July. It is truly a special place 12 with pristine views of Mount Shasta, green meadows, and 13 reforested mountains. The size and magnitude of the 14 project is unprecedented. The acreage footprint of the 15 giant rotating structures will ruin the visual landscape 16 from all corners of our property. These are not cute 17 little windmills. You know, they're giant turbines reaching over 600 feet tall, and that's equivalent to about 18 19 a 50-storey building, which I believe you probably have to 20 travel to San Francisco to find one of those. They will be

21 the largest turbines in the world. And until you stand 22 next to something of that size and feel the ominous 23 presence, hear the whoosh of the blades, see the casted 24 moving shadows, I really don't think one has the ability to 25 understand how these giant rotating structures ruin nature.

1 You know, I learned this by visiting Hatchet Ridge multiple 2 times, and it completely changed, you know, my opinion on 3 large scale wind turbines in the middle -- especially in 4 the middle of a pristine forest. You know, Wind Ridge or -5 - not Wind Ridge but Hatchet Ridge has even smaller turbines than what's proposed on this project. And I 6 7 really don't think anyone in leadership that has, you know, the authority to, you know, look at these projects, until 8 9 they experience that, I don't know if they're qualified to make those types of decisions. It is something that one 10 11 has to experience and feel. 12 Anyways, the proposed project will place multiple 13 600 foot turbines within a few thousand feet of our 14 property line. In my presentation, I made some crude 15 renderings to kind of show, you know, what this will look 16 like and how unnatural this will look on the ridges above 17 our ranch. The turbines will be close enough to hear, 18 feel, cast flickering showers over the entire 100-acre 19 meadow, and it basically light up the night sky, ruining 20 both, you know, the daytime and nighttime views. 21 So in closing, I do just want to say the project 22 does not belong in this location, and I hope after all of 23 your due diligence, the CEC will come to that same 24 conclusion. Thank you. 25 MS. BADIE: Thank you.

> California Reporting, LLC (510) 224-4476

Laura Hobbs, we would like to try your line 1 2 again. If you could --3 MS. HOBBS: Hi there, this is Laura Hobbs, L-A-U-4 R-A, H-O-B-B-S. I'm running for supervisor in District 2. 5 I oppose bringing this project back again. The county has already denied it. The turbines, from what I have seen and 6 7 read, are prone to spontaneous combustion combined with the fact that Cal Fire is not able to fight aerial fires. I 8 feel like this presents a real fire hazard for our area and 9 10 in such close proximity to so many houses. 11 I wonder also, what is the toxicity effect of the production of these turbines? As well, I wonder how are 12 13 they going to get the turbines into the area without 14 closing off roads for long periods of time? That was 15 something that was -- that actually happened previously 16 when they did the initial turbines. 17 So I oppose this. I think the county was right 18 in denying it a permit and making a city ordinance to 19 prevent turbines in forested areas. Thank you. 20 MS. BADIE: Thank you. 21 Next, we're going to move on to Sharon. Sharon, I'm going to open your line. If you 22 23 could, please, spell your name for the record. We're 24 asking for comments to be limited to three minutes or less. 25 Sharon, if you can --

MS. GOLDEN: Can you hear me? 1 2 MS. BADIE: Yes. Thank you. MS. GOLDEN: Hi, my name is Sharon Golden, MPA. 3 That's S-H-A-R-O-N, last name Golden, G-O-L-D-E-N. 4 I'm 5 also the Labor's -- Labor Researcher for Operating 6 Engineers Local 3, and I'm supporting the project tonight. 7 Particularly, I want to speak about an analysis 8 that I conducted on Shasta County Department of Public 9 Works projects. This is particularly interesting because 10 these are likely the same contractors that will be working 11 on this project. I gathered the data from the PWC-100, 12 which is the Public Works database. And I focused on 13 projects that were completed -- excuse me -- were awarded 14 from 2016 when the database became mandatory and the 15 projects that had ended in February 2023. And I 16 supplemented my information through public works -- excuse 17 me -- public requests. 18 There were a total of 125 projects that were 19 awarded in that timeframe, but there -- only 30 of those 20 projects had a valuation of 500,000 or more. My analysis 21 was on those 30 projects because with a higher project cost 22 come higher complexity. On average, projects with non-23 union prime contractors had final contracts that were more 24 than non-union prime contractors. Compared to the contract 25 amount, non-union projects cost the DPW more than 1 million

1 more than the union projects did. This is over the 2 estimated valuation of the project from the city -- the 3 county's engineer's estimates.

4 Also I want to speak to change orders and 5 contract extensions. On average, projects with union contractors have about half the number of change orders 6 7 compared to non-union contractors in the county. On 8 average, change order projects -- change orders on projects 9 with non-union prime contractors resulted in double the 10 number of contract extension days, actually more than 11 double. And also, on average, non-union projects had about 12 three times the number of days added from change orders, 13 weather delays, holidays delays, or suspended working days. 14 Unions averaged about 22 working days added while non-union 15 contractors added 64 days. This means that it's a higher 16 cost in general and also leads to a higher impact of the 17 ongoing project within the community. And that concludes 18 my analysis. Thank you so much.

19

25

MS. BADIE: Thank you.

20 Next, we'll hear from Steve Johnson. Steve, I'm 21 going to open your line. If you can unmute on your end. 22 We're asking for comments to be under three minutes. 23 MR. JOHNSON: Can you hear me? 24 MS. BADIE: Yes.

MR. JOHNSON: Yes. Good evening. My name is

California Reporting, LLC (510) 224-4476

1 Steve Johnson, S-T-E-V-E, J-O-H-N-S-O-N. I have a ranch in 2 Montgomery Creek. I've had it for over 20 years, not far 3 from the project. I'm on the board of directors of the 4 Shasta Fire Safe Council. I'm here tonight as a private 5 citizen, not speaking on behalf of the council. But on the Fire Safety Council, I chair the Committee for Strategic 6 7 Planning, and I'm currently drafting a five-year strategic plan to reduce wildfire risk in Shasta County. That's 8 9 relevant here because the council is currently working on 10 projects to create fire breaks in different areas of the 11 county to do shaded fire breaks without having to build 12 wind turbines or anything like that that greatly increase 13 fire risk. Those projects will be ongoing. We're getting 14 funding from private sources, from public agencies, fire 15 breaks on public lands, on timberland, and on private land. 16 And those projects will be ongoing regardless of Fountain 17 Wind.

18 Secondly, this particular site is already 19 burdened by renewable energy projects that exist now that 20 you may not be aware of. You've heard mention of Hatchet 21 Creek, which comes down from the sacred tribal mountains through this project site. And you've heard of Montgomery 22 23 Creek, after which the town of Montgomery Creek is named. 24 Both Hatchet Creek and Montgomery Creek have 25 hydroelectric projects on the creeks. Hatchet Creek has

two hydroelectric projects. One runs for a mile through my ranch. Not too far away from those creeks, there's a hydroelectric project on Roaring Creek. And over the hill, there's one on Burney Creek. So we already have these lands and the general area producing renewable energy now. They don't need to be burdened by a new project that will greatly increase fire risk.

8 Lastly, the main point I want you to take away 9 from my comments, and I'm going to repeat it twice. If you 10 approve this project as commissioners, it's very likely that people will die as a result of your decision. 11 I 12 repeat, it's very likely people will die as a result of 13 your decision. And I don't say that lightly. I say that 14 because if aerial firefighting is precluded, and we had 15 testimony before the Planning Commission and Board of 16 Supervisors that without aerial fire attack in a 17 catastrophic wildfire situation on this site, the local 18 communities of Montgomery Creek and Round Mountain will 19 burn to the ground, and it's very likely that people will 20 die. We had people -- four people burned alive in the Zogg 21 Fire in Shasta County a couple of years ago. We had eight 22 die in the Carr Fire. We had over 80 die in the Camp Fire 23 in Paradise. And just this year, we had the most 24 catastrophic loss of life in a wildfire in the United 25 States history in Lahaina Maui. Hundreds and hundreds of

> California Reporting, LLC (510) 224-4476

1 people burned alive, and that may likely be the case in 2 this intermountain area. If you approve this project, it's 3 likely that this area will burn again. It burned before. 4 And if it can't be stopped before it enters the local 5 community --MS. BADIE: Thank you for your comment. 6 7 Next, we have Patrick Boileau. 8 Patrick, I'm going to open your line. We're 9 asking for comments to be three minutes or less. Please spell your name as well for the court reporter. 10 MR. BOILEAU: Good evening. Yes. Patrick 11 12 Boileau, P-A-T-R-I-C-K, B-O-I-L-E-A-U. I'm the Deputy 13 Political Director with the Operating Engineers Local 3. 14 Thank you, commissioners, for taking my testimony, and 15 thank you from -- for hearing from many of our colleagues 16 in the room, as well as my friend and colleague, the 17 researcher you heard from before. 18 Building this project -- approving this project will have massive benefits, not only for the state overall, 19 20 but for Shasta County. It'll allow Shasta County workers 21 to work in their own backyards as opposed to travel hours 22 and hours away for a job. The reality of being a 23 construction worker means that you are moving from job to 24 job. And the ability for a construction worker to work for 25 a year or two in the community that they live in is --

> California Reporting, LLC (510) 224-4476

1 cannot be understated. It allows a worker to visit -- go 2 to those PTA meetings. It allows a worker to go to the 3 Tee-ball games. It means that the worker is not spending 4 hours on the road or nights in hotel rooms outside of their 5 community, away from their families.

Additionally, by requiring that this project be 6 7 built with skilled and trained labor, you are putting 8 people who know what they're doing behind the equipment. 9 Specifically, you're putting people who know soil and know 10 dirt. They know when dirt's been disturbed and when dirt's 11 been undisturbed. So when considering the potential for 12 archeological and paleontological sites in the course of 13 building this project, a heavy equipment operators like the 14 Operating Engineers know what they're looking for. Not 15 that long ago, an Operating Engineer, while working on 16 expanding the runways in San Jose, came across a Native 17 American burial. He was able to quickly determine what it 18 was, allow archeologists and the tribe -- the local tribes 19 to come in and make the determination as to what was the 20 proper thing to do with the human remains that were 21 uncovered, and then, you know, go on with the work. These 22 Operating Engineers are absolutely at the front line of 23 that sort of work. And it cannot be understated the skills 24 and training that they bring to the site in order to 25 preserve that sort of work.

180

Again, thank you for your time, and we do hope 1 2 that you eventually approve this project. 3 MS. BADIE: Thank you. 4 Next, we'll hear from Maggie. 5 Maggie, if you can state and spell your name for 6 the record, I'm going to open your line. We're asking for 7 comments to be three minutes or less. Maggie, if you can 8 unmute on your end -- on your end. 9 MS. OSA: Can you hear me? 10 MS. BADIE: Yes. 11 MS. OSA: Thank you. Good evening. My name is 12 Maggie Osa. It's M-A-G-G-I-E, O-S-A. Commissioners and 13 staff has outlined in the CEC agenda that Fountain Wind 14 Project identifies significant environmental impacts across 15 numerous areas which cannot be mitigated. No overriding 16 considerations could justify approving this project. The 17 Camp, Carr, Dixie, Dawn, Delta, Hart, Zogg, and other 18 wildfires within the North State have proven to be some of 19 the most destructive in history, including over 100 lives 20 lost due to the lack of proper maintenance and grid 21 instability was found -- PG and E was found quilty of 94 22 counts of involuntary manslaughter in the Camp Fire and 23 were found responsible for Zogg Fire in Shasta County, 24 which resulted in four more deaths. The work needed by PG 25 and E for grid hardening is still in progress, documented

by the recent PG and E rate increases approved by the CPUC
 to bury the lines in high wildfire areas, which also
 include transmission lines within Shasta County.

4 In addition to the PG and E maintenance work, 5 CAISO continues to work to resolve the thermal overload issues at the Round Mountain substation, which will not be 6 7 complete until 2025 in the Millville area of Shasta County. The thermal overload also affects the 230kV lines the 8 9 project proposes to tie and (indiscernible 04:27:14) for 10 Cottonwood. Sadly, it is now commonplace for these 11 wildfires to quickly get out of control, and limited 12 ingress and egress for residents. The project will 13 severely restrict any effective aerial wildfire support 14 further putting lives at risk unnecessarily even if the 15 turbines did not start the fire. The cumulative impacts to 16 the aerial wildfire support must be considered with the 17 Hatchet Ridge turbines.

18 In addition, as already identified by the CEC, 19 the applicant failed to identify an alternative site 20 outside of Shasta County which could pose significantly 21 less wildfire risk to the community members. In 2022, 22 memos from RCRC and the League of Cities, they state that 23 many communities have suffered dramatic decline in energy 24 reliability over the last several years and that these 25 improvements will require significant investments in

infrastructure, development of new energy and storage assets, and rethinking the state's lengthy interconnection process. The CEC would be negligent if they did not secure the needed infrastructure investments are in place to provide a safe and secure transmission grid before considering this project or any other.

7 The clean energy goals within the state are not 8 about who gets to the table first, but the health, welfare, 9 and safety of the residents who must live near these 10 projects. The continued infrastructure failures can no 11 longer be acceptable when lives could be lost for the risk 12 of renewable energy projects. The project in good 13 conscious cannot be approved considering it would be 14 incorporated into a failing infrastructure undergoing 15 current upgrades. The risk of the lives of the community, 16 which the severe limitations regarding aerial wildfire 17 support and the continued destruction to the Pit River 18 Tribes --19 MS. BADIE: Thank you for your comment, Maggie. 20 Next, we're going to hear from Rachel Hatch. 21 Rachel, I'm going to open your line. 22 We lost Rachel. 23 Rachel, if that was -- if you lowered your hand 24 in error, can you please raise your hand again? Thank you, 25 Rachel. I'm going to open your line. Please unmute on

1 your end. We're asking for comments to be three minutes or 2 less.

MS. HATCH: Thank you for the opportunity to speak. It's Rachel Hatch, R-A-C-H-E-L, H-A-T-C-H, citizen of Shasta County. Thank you for the opportunity to speak, and thank you for hosting a California Energy Commission meeting in our rural region of the state.

8 I am here to voice opposition to the Fountain 9 Wind Project. This project is at cross-purposes with the just transition that we need to a carbon neutral future. 10 11 Transitions are fraught. We all know this. And this is 12 the very task at hand for commissioners to consider here 13 and in every parallel meeting room you've been in across 14 the state. From Kern County to the Salton Sea to Shasta 15 County, you are all well aware of the benefits and 16 tradeoffs. As a citizen of this place, I believe the 17 voices of the cultural caretakers, especially the Pit River 18 Nation who have a profound and longstanding connection with 19 the project site, should be taken into perspective. You've 20 already heard their voices today. Please hear them. For 21 this reason, I oppose the project and ask that the 22 California Energy Commission take this into consideration 23 in their decision. CNRA has just recently launched their 24 tribal-based nature solutions grant program. You are 25 taking strides to embody the just part of "just

1 transition." The CEC must act as thoughtful stewards of 2 this moment and not work at cross-purposes to this 3 imperative. Please don't disregard how a particular energy 4 project such as Fountain Wind can further harm the 5 indigenous peoples of this place. A just transition 6 acknowledges the intergenerational trauma and genocide that 7 has happened here. It's important to uplift the Pit River 8 Nation's comments that are already in the docket, as well 9 as the actions of their council earlier this year and in previous years when this project has undergone local 10 11 consideration and has been universally denied. 12 Lastly, in the field of philanthropy, the next 10 13 years will see a shift towards reparative capital. This is a move toward utilizing philanthropic resources and other 14

15 forms of wealth with the intent of healing, not further 16 harm. When the CEC engages with philanthropy across the 17 state going forward, and this is especially important with 18 regard to question number five that you posed for this 19 particular meeting, it is my hope that the commissioners 20 and CNRA staff will take that opportunity to rethink how 21 high of a bar to set for community benefits agreements, 22 both the genuine hard-earned trust that's required and the 23 organizational infrastructure that needs to be in place in 24 order to support them. Please reject the Fountain Wind 25 Project today.

1	MS. BADIE: Thank you for your comment. And I
2	would like to do a last call for raised hands on Zoom.
3	This is the last chance for raised hands on Zoom. If
4	you're online, you'll use the open palm icon just above the
5	title raised hand on your screen. If you're joining us on
6	phone, you'll press star nine to let us know. I'm just
7	giving that a moment. All right. We don't have any more
8	raised hands. I want to thank everyone who commented
9	today, everyone who attended today, and I would like to
10	turn it back to Commissioner Gallardo.
11	COMMISSIONER GALLARDO: Thank you, Public Advisor
12	Mona Badie, who did an excellent job today.
13	So after about five hours, we're nearing the
14	close. On behalf of the California Energy Commission, I
15	want to express our gratitude for everyone who joined,
16	whether it was via Zoom or here in the room, especially to
17	those who travelled from afar. We really appreciate that,
18	and we understand that that is burdensome on you. We
19	received nearly 60 comments of expertise, insight, and
20	perspective that we'll apply during our review process. I
21	also want to thank the hotel staff, our security guards and
22	officers, our audio/visual team, and the Energy Commission
23	staff for their efforts to ensure smooth and fair process
24	today. And also thank you to the developer who presented
25	really detailed account and responded to the questions that

we had for them. So, everybody, please have a goodnight. And with that, we'll adjourn. (ADJOURNED AT 7:26 p.m.) 

## CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 2nd day of February, 2024.

Martha L. Nelson

MARTHA L. NELSON, CERT\*\*367

## CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.

Martha L. Nelson

February 2, 2024

MARTHA L. NELSON, CERT\*\*367