

<b>DOCKETED</b>	
<b>Docket Number:</b>	23-IEPR-03
<b>Project Title:</b>	Electricity and Gas Demand Forecast
<b>TN #:</b>	254927
<b>Document Title:</b>	Transcript - IEPR COMMISSIONER IEPR COMMISSIONER WORKSHOP ON THE CALIFORNIA ENERGY DEMAND FORECAST RESULTS PART II
<b>Description:</b>	12.19.2023 - Transcript - IEPR COMMISSIONER WORKSHOP ON THE CALIFORNIA ENERGY DEMAND FORECAST RESULTS PART II 12.19.2023
<b>Filer:</b>	Raquel Kravitz
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	3/8/2024 10:24:08 AM
<b>Docketed Date:</b>	3/8/2024

STATE OF CALIFORNIA  
CALIFORNIA ENERGY COMMISSION

In the matter of:

Commissioner Workshop - )  
California Energy Demand ) Docket No. 23-IEPR-03  
Forecast Results Part II )  

---

 )

CEC IEPR COMMISSIONER WORKSHOP  
ON THE CALIFORNIA ENERGY DEMAND FORECAST  
RESULTS PART II

REMOTE ACCESS VIA ZOOM

TUESDAY, DECEMBER 19, 2023

12:30 P.M.

Reported by:  
Elise Hicks

APPEARANCESCOMMISSIONERS

Siva Gunda, Vice Chair, CEC

Patricia Monahan, Commissioner, CEC

Darcie Houck, Commissioner, CPUC

Genevieve Shiroma, Commissioner, CPUC

STAFF

Heather Raitt, Director, IEPR Office, CEC

Heidi Javanbakht, Manager, Demand Analysis Branch, CEC

Nick Fugate, CEC

Ingrid Neumann, CEC

Quentin Gee, Manager, Advanced Electrification Analysis Branch, CEC

PRESENTERS

Mariko Geronimo Aydin, Lumen Energy Strategy

Onur Aydin, Lumen Energy Strategy

INDEX		<u>PAGE</u>
Introduction		4
Opening Remarks		5
	Commissioner Patty Monahan, CEC	
	Vice Chair Siva Gunda, CEC	
	Commissioner Darcie Houck, CPUC	
	Commissioner Genevieve Shiroma, CPUC	
1.	2023 IEPR Forecast Overview	11
2.	Key Findings in Climate Data Analyses	15
	Mariko Geronimo Aydin, Lumen Strategies	
	Onur Aydin, Lumen Strategies	
	Remarks/questions from dais	
	Q&A from attendees to panelists, Heidi Javanbakht to moderate	
3.	Hourly and Peak Electricity Demand Forecast	45
	Nick Fugate, CEC	
	Remarks/questions from dais	
	Q&A from attendees to presenter, Heidi Javanbakht to moderate	
Public Comments		77
Closing Remarks and Adjourn		79

P R O C E E D I N G S

12:31 p.m.

TUESDAY, DECEMBER 19, 2023

MS. RAITT: Good afternoon, everybody. Welcome to today's workshop on the California Energy Demand Forecast Results Part II. So this one is to talk about the hourly and peak results, and I'm Heather Raitt, the director for the Integrated Energy Policy Report, or the IEPR for short, and this workshop is part of the CEC's proceeding on the 2023 IEPR.

So this is a remote-only workshop using Zoom. We are going to be recording and we'll post an audio recording shortly after the workshop, and then a written transcript in about a month or so following the workshop.

To follow along all the materials are docketed and posted on the event page for this workshop. If you go to the IEPR webpage you can find it.

After the presenters we will have some opportunities for attendees to ask questions of the presenters. You can use the Q&A feature if you're on the Zoom platform to submit questions for presenters. And then alternatively, at the end of the day, we do have an opportunity for public comment, and we'll be limiting those to three minutes per person with requests for one person per organization. And then finally we always welcome

1 written comments, and those are due on December 29th.

2 And with that I'll just turn it over to  
3 Commissioner Monahan to open the workshop for us.

4 Thank you.

5 COMMISSIONER MONAHAN: Thanks Heather, and thanks  
6 to the team.

7 And I'm just going to be very brief because this  
8 is really Vice Chair Gunda's baby I'd like to say. And I'm  
9 happy to see Commissioners Houck and Shiroma on the virtual  
10 dais, so I'm looking forward to your comments and input  
11 today.

12 I think as we all know the demand forecast is  
13 central to energy planning and policy in the State of  
14 California, and it's really critical for utilities to be  
15 able to procure the resources that we need and for the PUC  
16 to guide that process. So I know this has been a  
17 challenging year to be able to continue to update the  
18 forecast with the best available information to make sure  
19 that we're attentive to climate impacts and we're  
20 incorporating those into the modeling.

21 And so I just really look forward to the  
22 discussion, and I'm just going to pass it right over to  
23 Vice Chair Gunda for his input.

24 VICE CHAIR GUNDA: Thank you, Commissioner  
25 Monahan.

1           Welcome, everybody. Thanks for joining us on the  
2 19th, the afternoon, just as we're all going into the  
3 holidays. I really appreciate all of the public joining  
4 us, and to Commissioner Shiroma and Commissioner Houck as  
5 well from CPUC.

6           As Commissioner Monahan mentioned, the forecast  
7 has such a pivotal role in the energy planning, especially  
8 given the climate policy we're all working on in terms of  
9 electrification and the clean grid, which is largely  
10 intermittent today. So we really need to understand the  
11 hourly impacts well and be able to quantify them to secure  
12 the necessary grid to keep the lights on and get us through  
13 this reliable journey.

14           Especially coming out of 2020 and the past couple  
15 of years, the climate impacts and the ability to improve  
16 the forecast based on the future climate impacts was a key  
17 consideration. Historically the forecast always relied  
18 largely on historical data. And, you know, something that  
19 we have taken to heart since 2020 is really thinking  
20 through how do we enhance a forecast based on future  
21 impact, electrification, deployment of behind the meter  
22 resources, the DERs, but also climate, and how do we really  
23 get that right?

24           So really excited to listen to Lumen's  
25 presentation today and staff presentation on the results.

1 So looking forward to the discussion, and before we jump on  
2 to the staff, I want to pass it on to Commissioner Houck  
3 for her comments.

4 COMMISSIONER HOUCK: Thank you, Vice Chair Gunda.  
5 Good afternoon, everyone. I want to thank the  
6 Energy Commission staff for hosting and moderating today's  
7 second IEPR workshop on demand forecast results. I had the  
8 opportunity to attend the first workshop on December 6th,  
9 where CEC staff presented the results of the annual  
10 electric and gas demand forecast. I really look forward to  
11 hearing the presentations regarding the hourly peak  
12 electricity demand forecast today.

13 I want to also extend thanks to Vice Chair Gunda  
14 and Commissioner Monahan, and again all of the CEC  
15 leadership on the 2023 IEPR, as well as President Reynolds  
16 and my fellow PUC commissioners for their coordination with  
17 the Energy Commission on this work.

18 The IEPR is foundation for statewide energy  
19 system forecasting and planning in California for the  
20 broader electric system planning inputs from the Energy  
21 Commission's demand forecast, which are incorporated into  
22 the PUC's Integrated Resource Plan, or IRP, for all load-  
23 serving entities, which then feed into the ISO's  
24 transmission planning process. California's electricity  
25 system is undergoing a significant transformation on the



1 pathway to reaching our SB 100 goals, as Vice Chair Gunda  
2 noted, with a high penetration of renewables,  
3 electrification of buildings and transportation, and  
4 deployment of behind-the-meter distributed energy  
5 resources. Demand-side resources continue to play a  
6 critical role in ensuring that we have load flexibility and  
7 can meet our SB 100 goals. So with the anticipation of a  
8 high level of DER, penetration, particularly in the  
9 transportation sector, we're seeking to optimize the  
10 integration of DERs within the distribution grid while  
11 making sure that the rates customers pay are affordable.

12           And I just want to underscore the importance of  
13 the IEPR forecast, which is a critical component that we at  
14 the PUC are heavily relying on when asking investors and  
15 utilities to assess their investments in distribution  
16 infrastructure, and again, the IEPR continues to be an  
17 integral piece of the statewide planning process.

18           And with that, I again just really want to thank  
19 the CEC, Vice Chair Gunda, and Commissioner Monahan for all  
20 of your coordination with us and your dedication to this  
21 important topic and hosting today's workshop. And so with  
22 that, I again really look forward to hearing the  
23 presentation of the work today.

24           VICE CHAIR GUNDA: Thank you so much,  
25 Commissioner Houck.

1           Really important points that you discussed about  
2 DERs and understanding the impacts of that. So thank you  
3 for your coordination as well with CPUC.

4           Commissioner Shiroma?

5           COMMISSIONER SHIROMA: Yes.

6           Thank you, Vice Chair Gunda and Commissioner  
7 Monahan.

8           Good afternoon everyone. My pronouns are she/her.

9           I very much appreciate sharing the dais with you.  
10 I also echo my appreciation, respect, and thanks for the  
11 tremendous work that the Energy Commission is doing, the  
12 essential work through this IEPR effort.

13           The energy demand forecast, the framework, the  
14 protocol, the approach is critical for our sustainability  
15 as the Golden State. The grid has many changes going on  
16 that we can anticipate ahead, investments being made. And  
17 meanwhile, we do have climate change that is overlaying  
18 this effort. The forecast results are critical, essential  
19 for all of us as sister agencies as we chart the path for  
20 our -- again, for our Golden State.

21           Again, I want to thank the staff of the Energy  
22 Commission. Its very careful analytical work, expertise,  
23 sophistication, understanding, almost, you know, it's  
24 almost a DNA thing, us being able to navigate the very  
25 extensive tools at play, bringing in folks like Lumen

1 towards ensuring that we are on a solid path.

2           So thank you. Appreciate being here today. I  
3 look forward to the presentations and discussion.

4           Back to you, Vice Chair Gunda.

5           Thank you.

6           VICE CHAIR GUNDA: Thank you, Commissioner  
7 Shiroma.

8           It's so lovely to have both you and Commissioner  
9 Houck joining us from PUC, and it's been such a wonderful  
10 collaborative process thanks to Commissioner Monahan's  
11 leadership on the vision of this California report. So  
12 thank you, Commissioner Monahan.

13           And as I call on the staff, I wanted to share my  
14 final thanks to the IEPR team and the energy assessments,  
15 the technical team, for their continued work on making sure  
16 the IEPR is accessible, but also the results we present  
17 today are rigorous and have a strong stakeholder access and  
18 feedback.

19           So with that, Heather, I'll pass it back to you.

20           MS. RAITT: Great, thank you. Great, thanks.

21           So actually, I'll just pass it on to Heidi  
22 Javanbakht to open it up. She's the Demand Analysis Branch  
23 Manager. So go ahead, Heidi.

24           MS. JAVANBAKHT: Alright.

25           Thanks, everyone. Good afternoon and thank you

1 to everyone for attending today.

2 I realize this is a particularly busy time of  
3 year with the holidays coming up, so I really appreciate  
4 those that were able to make the time today.

5 I'm going to kick us off with an overview of the  
6 forecast and the updates that we made for this year.

7 Next slide, please. And next slide.

8 Okay. So a lot of this was already touched on by  
9 the commissioners, but the CEC's California Energy Demand  
10 Forecast, which is often referred to as the CED or the IEPR  
11 forecast, is foundational to procurement and system  
12 planning in the state. It's used by the CPUC for  
13 integrated resource planning and by the California ISO for  
14 transmission system planning. It's also used by the CPUC  
15 and utilities for resource adequacy requirements and by the  
16 utilities for planning.

17 The forecast is a 15-year forecast of electricity  
18 and gas demand in the state. We project annual electricity  
19 and gas demand and hourly electricity loads. The forecast  
20 includes scenarios reflecting various levels of adoption of  
21 energy efficiency, building electrification, and  
22 transportation electrification. The forecast also includes  
23 one-in-X-year net electricity peak estimates. And we  
24 update the forecast annually with a comprehensive update in  
25 the odd years.

1           Next slide.

2           This year, 2023, is an odd year, and we made  
3 substantial updates to the forecast.

4           Each year we update inputs with more recent data,  
5 but this year the team also transitioned to using new  
6 models for the residential sector and for modeling adoption  
7 of behind-the-meter PV and storage. The team also improved  
8 the methodology for determining the historical capacity of  
9 PV and storage.

10           For the additional achievable energy efficiency  
11 and fuel substitution components, the team refreshed the  
12 Title 24 and program accounting.

13           The team also collaborated with CARB, the Air  
14 Resources Board, on the assumptions used to model CARB's  
15 proposed zero-emission appliance standard, and they kicked  
16 off the rulemaking process for that standard last spring.  
17 For the 2023 IEPR forecast, this proposed standard is  
18 included in both the planning forecast and the local  
19 reliability scenario for electricity system planning,  
20 whereas in 2022, the standard was only included in the  
21 local reliability scenario and was not included in the  
22 planning scenario.

23           Lastly the team shifted to using newly available  
24 climate data in place of using historical weather data.  
25 And the next presentation from Lumen will go over the

1 progress made in this area, as well as some of the  
2 challenges they've encountered.

3           And I really want to express my appreciation and  
4 gratitude to the team for the significant effort invested  
5 in this component throughout the past year. It's a big  
6 team that includes our forecasting team; our colleagues in  
7 the Energy Research and Development Division at CEC; Lumen,  
8 who you'll hear from next; Eagle Rock Analytics; and  
9 numerous others involved in the Cal-Adapt Analytics Engine.  
10 This is a vitally important area for improvement for energy  
11 system planning, and there's limited prior research to draw  
12 from, so we're fortunate to have a really smart and  
13 dedicated group working on it.

14           However, because it is a new endeavor, some  
15 unforeseen hurdles arose during the initial implementation,  
16 which led to delays with the hourly electricity forecast  
17 this year.

18           So I also want to emphasize that the results  
19 presented today are a draft and are still being reviewed by  
20 our team.

21           Next slide.

22           And the next couple of slides are just to set the  
23 stage for the hourly results. I wanted to do just a very  
24 high-level recap of what was presented on December 6th.

25           So first is the households and population

1 projections from the Department of Finance that feeds into  
2 our forecast. And as you can see from these charts, both  
3 the household projections and population projections are  
4 growing at a much slower rate than was projected in 2022.

5 Next slide.

6 And then these are the rates. We are seeing  
7 significant electricity rate increases in the near future,  
8 primarily due to the need for wildfire mitigation measures,  
9 and so this means that the electricity rates used in the  
10 2023 IEPR forecast are higher than what was used for the  
11 2022 IEPR forecast. So the red line in this chart is the  
12 2023 forecast and that blue line is the 2022 forecast.

13 Next slide.

14 So those factors were the main drivers behind a  
15 lower forecast of annual electricity sales in the short  
16 term, which is shown by the two blue lines in this chart,  
17 compared to the 2022 forecasts shown in the orange and  
18 yellow lines. However, there are other factors behind this  
19 as well, and if you missed the December 6th workshop, I  
20 encourage you to go back and watch that recording.

21 The other big change from last year, which I  
22 mentioned earlier, is that CARB's proposed zero-emission  
23 appliance standard is incorporated into both the planning  
24 and local reliability scenarios this year. This standard,  
25 as proposed, would go into effect in 2030, and so you can

1 see an inflection point there where the 2023 scenarios  
2 start to ramp at a higher rate.

3 Next slide.

4 And I'll leave you with this slide of the IEPR  
5 workshops on the forecast for this year. Today is the  
6 final workshop where we'll cover the draft peak electricity  
7 demand results. We will continue to review these results,  
8 and may make some adjustments. At the same time we will  
9 review any comments submitted after these workshops, and we  
10 are aiming to post final results in January.

11 I want to thank the CPUC, the Air Resources  
12 Board, the California ISO, the IOUs, and many others who  
13 provided valuable input and feedback on our forecast this  
14 year.

15 And with that, I will hand it off to Mariko from  
16 Lumen Energy Strategies to go over key findings in climate  
17 data analysis for demand forecast integration.

18 MS. AYDIN: Thank you, Heidi.

19 Next slide, please.

20 My name is Mariko Geronimo Aydin. I'm also here  
21 with Onur Aydin, and we are the founders of Lumen Energy  
22 Strategy. We are EPIC-funded with a mission to help  
23 advance resilience planning in the state. Onur and I are  
24 very excited about the work we're doing to support demand  
25 forecasts, so thank you for that and thank you for having



1 us here today.

2 We're here to give you a tour of how the hourly  
3 climate projections from the climate science community are  
4 translated into workable inputs to the demand forecast  
5 models and a bit on what we've learned in that process.

6 On the next slide, like the Amish barn raising  
7 you see in the background, I cannot talk about this work  
8 without also talking about the community and the  
9 collaboration process behind it.

10 Firstly, we are standing on the cumulative work  
11 of several EPIC projects and of many IEPR cycles and demand  
12 forecast cycles where each time the study teams involved  
13 made a critical advancement that brought us to this point.  
14 And for this IEPR cycle in particular, I want to thank  
15 everyone who has been working both in front of the scenes  
16 and behind the scenes to enable and support this work to  
17 bring climate science theory into this extremely important  
18 application of demand forecast.

19 And what's exciting about this demand forecast  
20 work the CEC is doing is it's the first of its kind. I am  
21 personally not aware of anyone in the U.S., at least not in  
22 the public domain, who is using climate projections at this  
23 spatial and temporal granularity to produce long-term  
24 demand forecasts at the state level. And it wouldn't be  
25 possible without the level of collaboration and knowledge

1 exchange that's happening right now amongst many parties.

2 Next slide, please.

3 So for this IEPR cycle, we needed to figure out  
4 how to translate the data into the specific metrics needed  
5 for demand forecast. We needed to figure out how to adjust  
6 the demand forecast models to ingest almost 200 times more  
7 data, and even more for future IEPR cycles, and then fit  
8 the pieces together and see if it makes sense. So Onur and  
9 I will talk about the data inputs and then Nick will talk  
10 about the demand forecast model and results.

11 So we'll provide you a brief overview of the  
12 climate data sources, talk a bit about bias correction, and  
13 provide a refresher on our temperature detrending method,  
14 and then we'll show you some results for hourly  
15 temperatures. Also hourly dewpoint and cloud cover  
16 metrics.

17 Next slide, please.

18 This is a summary of the new downscaled climate  
19 projections data. It's a summary through the lens of what  
20 we need for demand forecasts. And if you're not familiar  
21 with the downscaled projections or climate scenarios,  
22 please do take a look at the links below when you get a  
23 chance.

24 But in summary, UCLA and the Scripps Institute of  
25 Oceanography and many other researchers have brought to all

1 of us the latest and greatest global climate model results  
2 to a fine spatial and time granularity specifically for use  
3 in various adaptation and mitigation efforts in the state.  
4 The data have been released in three waves, and they're  
5 based on two types of downscaling models which I'll refer  
6 to as the WRF and LOCA2 models.

7           You can see the models vary in terms of the  
8 volume of data they provide versus the granularity of data.  
9 WRF outputs tend to include fewer runs with a focus on the  
10 mid-high climate scenario, 3-7.0, but at an hourly  
11 timescale. And then the LOCA2 outputs are a higher volume  
12 of runs across multiple climate scenarios but with a daily  
13 timestep.

14           Demand forecasts need hourly inputs, so that's an  
15 important consideration for us. Also the timing of data  
16 release, along with the IEPR cycle and the integration of  
17 the data into the state's toolkit, which we are downstream  
18 of, is important. So we rely on the four initial WRF runs  
19 you see here, released in late 2021, early 2022, and those  
20 are all now integrated on the Analytics Engine platform.

21           And as we digest the data, the annual patterns,  
22 the peaks in temperature affecting peak demand, and the  
23 hourly patterns, they have to have some coherence with the  
24 historical observations we have. And I don't mean they  
25 need to replicate historicals, but biases in these types of

1 statistics, in particular, those will propagate through  
2 demand forecasts. So that's what we've had to look out  
3 for.

4 On the next slide I wanted to talk a bit about  
5 bias corrections.

6 Next slide, please.

7 Thank you, and thank you to the stakeholders who  
8 have opened up dialogue about this.

9 Bias is one of the main concerns when working  
10 with global climate projection. The global climate models,  
11 for example, some of them can be known to run hot or run  
12 cold. That's just one example of bias. But more  
13 generally, assuming the global climate models are  
14 particularly good at capturing the climate signal or long-  
15 term trends, which is what they're designed to do, bias can  
16 be anything in the data other than that, that  
17 systematically deviates from what you think is the  
18 population of possible outcomes.

19 So I have many cautions about bias correction,  
20 and this topic always teeters over the deep end of  
21 statistics, but for today I'll just say one thing, and that  
22 is: every time you manipulate the original climate  
23 projections -- which has to be done for real-world  
24 applications, we can't avoid that -- but every time you do  
25 that, you risk adding a new layer of modeling uncertainty

1 that can skew your results, and you risk obfuscating the  
2 original information the climate projections were trying to  
3 convey, such as novel weather patterns you can't find in  
4 the historical records. So we try to rely on the climate  
5 science community to make those adjustments as much as we  
6 can, and we only make additional adjustments if it's  
7 absolutely necessary for our application. But otherwise  
8 try to keep the data as-is. That's our general approach.

9 Our main vehicle for bias correction is a  
10 localization model that brings grid cell projections down  
11 to the specific weather stations needed for demand  
12 forecast, and it uses historical weather station  
13 observations to do that.

14 That model's been around for several years. It  
15 is open and available on the Analytics Engine platform.  
16 But it is a work in progress, and we have seen some  
17 residual bias at a few stations and in some parts of the  
18 hourly profiles. Residual bias can be driven by the  
19 localization model itself, by the quality of station data  
20 that's feeding into it, or carrying over from the climate  
21 projections.

22 There's no localization model for dewpoint and  
23 cloud cover, which we'll talk about later. So those are  
24 subject to biases that may flow from the original gridded  
25 climate projections.

1           And the last thing I'll say on this is usually  
2 you'll see bias corrections work off of means, or medians,  
3 or trends, but for extremes, like extreme temperatures,  
4 where you don't have many historical observations to  
5 develop a clear picture of the population of possible  
6 outcomes, there are inherent challenges to bias  
7 corrections, and limitations.

8           So with all of that, I'll hand it over to Onur to  
9 talk about our detrended temperatures.

10           MR. AYDIN: Thank you, Mariko.

11           So I would like to start with a recap of  
12 temperature detrending method and our motivations behind  
13 it.

14           We discussed this during the IEPR workshop back  
15 in August so I will try to keep it brief. The better inputs  
16 are essential parts of energy demand forecasting where we  
17 need to understand really what can be expected in a  
18 typical, normal year, and also the range of potential  
19 outcomes that can happen in a given year. The challenge is  
20 that we now have evidence, very strong evidence, that both  
21 the normals and the distribution of outcomes, especially  
22 extreme events, are changing. They already changed to some  
23 degree as we speak today, and they have the potential to  
24 change even more at an accelerating pace. The weather  
25 normalization previously relied on historical data is no

1 longer sufficient to capture these changes.

2           The latest and greatest climate projections have  
3 much better information on future weather risks than the  
4 historical record, but year-to-year variability is  
5 typically intertwined with the climate signals and the  
6 long-term trends. So detrending really retains all of that  
7 original information in the climate projections that we're  
8 working with, but it separates that year-to-year  
9 variability from the climate signal.

10           So through detrending we increase the ensemble of  
11 climate simulations by using a rolling window around each  
12 forecast year and adjust that data to better reflect  
13 expectations of the forecast year, which is in the middle.  
14 And we apply this approach, the de-trending approach, at  
15 the hourly station level to develop over 200 variants,  
16 where each variant is an 8760 hourly time series for each  
17 of the forecasts here. So in terms of the data that's been  
18 integrated into the demand forecast, it's an order of  
19 magnitude larger than the historical data that's been  
20 previously shown.

21           We account for the variations of climate trends  
22 by location and also by temperature levels, as we see  
23 different trends at different temperature levels, so we  
24 account for that. And at the end, we maintain hourly  
25 chronological order, which is really important because you

1 need that to preserve the correlations of weather events  
2 over time, and also between temperatures, which is a key  
3 input, and other variables used for demand forecasting like  
4 dewpoint and humidity.

5           So for more details, you can check out our  
6 presentation from the August IEPR workshop. So we provided  
7 a link here. But with that, I want to just move to some of  
8 the results.

9           So next slide, please.

10           So I want to start with the projected cooling and  
11 heating degree days, the CDDs and HDDs, based on the  
12 detrended temperate library that we developed. And we  
13 benchmarked the results against the historical record.

14           The CDDs and HDDs are key inputs to energy  
15 consumption forecasts. They indicate how cold or warm  
16 outdoor temperatures are relative to a threshold at which  
17 cooling and heating needs are minimal, typically around 65  
18 degrees. And the higher the CDD value is, the more energy  
19 would be needed for cooling, and the higher the HDD value  
20 is, the more energy would be needed for heating.

21           So looking at the historical observations on the  
22 charts on the left, you can see a very steep upward trend  
23 for CDDs and a steep downward trend for HDDs. These are  
24 consistent with the general warming of temperature levels.

25           So using the historical data without accounting



1 for such trends would significantly understate CDDs and  
2 corresponding cooling-related energy usage, while it would  
3 overstate the HDDs and heating-related energy usage.  
4 Projected CDD and HDD metrics based on the trended  
5 temperature library addresses this issue. This is  
6 particularly important for resource planning because at the  
7 end, it directly impacts how much clean energy California  
8 needs to invest in order to meet future GHG reduction  
9 targets.

10           So looking at the projections, you see that the  
11 projections not only align well with historical trends and  
12 variability, but they also allow for a far more detailed  
13 look at the range of potential outcomes in a demand  
14 forecast year. So the charts on the right show the  
15 estimates from each of the 204 weather variants that we  
16 developed shown in gray circles, like little dots, and the  
17 corresponding normal level that we identify based on median  
18 values. You can also see how the ranges between, you know,  
19 10th and 90th percentile levels will change over time.

20           So here I also want to highlight that these  
21 results are derived bottom-up from the hourly detrended  
22 climate projections, which is important because it promotes  
23 consistency in integrating the climate signals across  
24 various models for demand forecasting. Annual consumption,  
25 peak forecast, and normalization models can all use the

1 same set of weather inputs and variants.

2           And the data library is also structured to  
3 support hourly demand forecast models and stochastic  
4 analysis in the future IEPR cycles.

5           Next slide, please.

6           Another important metric is -- well, the metrics  
7 of our hottest and coolest temperatures that you see around  
8 the year, as they are the key drivers of heat demand and  
9 associated system capacities. The recent heat waves in  
10 California highlighted the importance of characterizing  
11 extreme weather events, especially temperatures, in demand  
12 forecasting and grid planning. And historical record is  
13 useful, but it provides very limited information to  
14 differentiate a normal year from the extremes that can be  
15 expected going forward.

16           So the charts here on the left show the frequency  
17 of the top five hottest days of the year based on  
18 historical record. And looking at the distribution of  
19 those heat events over the last 30 years versus 20 and 10  
20 years makes it very clear that the temperature patterns are  
21 already changing. So on the one hand you need a long  
22 enough history, like 30-plus years, to properly  
23 characterize the variability, but the historical record  
24 from decades ago is not reflective of what can happen  
25 today.

1           On the other hand, you want to rely more on  
2 recent data -- the last five, ten years -- to better  
3 reflect today's expectations when you look at a base year  
4 2023 forecast. But the data is too scattered and not  
5 sufficient to come up with a reliable distribution of  
6 outcomes, especially for extreme events. So the detrended  
7 temperatures developed using the latest hourly downscale  
8 and localized projections can provide a richer distribution  
9 of outcomes, outcomes that are consistent with the  
10 underlying climate signals that are modeled by the climate  
11 scientists.

12           So looking at the charts on the right, you see  
13 the distribution of the same metric, the temperatures over  
14 the five hottest days of the year, based on 204 variants  
15 for each year. So each chart shows about one thousand data  
16 points here.

17           So you can see the distribution for the base  
18 year, 2023, and how that distribution shifts over time by  
19 2035 and 2050. So these are shown as examples, but we  
20 basically have repopulated the variance for each forecast  
21 years between 2023 through mid-century, 2050. So the  
22 difference, you know, when you look at charts, the  
23 difference is only a few degrees, which could be hard to  
24 see unless you really look at it very closely. But a few  
25 degrees of difference is the difference between one-in-

1 five-year versus one-in-two-year events, or one-in-30-year  
2 versus one-in-10-year events. So that difference is really  
3 significant for the purpose of system planning.

4 Next slide, please.

5 So last about the temperature-related metrics, I  
6 want to talk a little bit about the hourly shape.

7 The hourly shape of temperatures is becoming  
8 increasingly important for demand forecasting. That's  
9 partly because it impacts the hourly demand profiles at the  
10 system level and across planning areas, and how coincident  
11 or not coincident they are. But it also impacts the  
12 contribution of intermittent renewable generation toward  
13 meeting hourly demand, and the corresponding net peak load  
14 and the system ramp peaks that might be critical  
15 considerations for system planning.

16 So here we show the base year 2023 median  
17 temperature profiles developed using the detrended method,  
18 and we compare those results against the historical record.

19 So the results are very encouraging. At the  
20 planning level, you can see for each of the three IOUs here  
21 the results generally line up well with the historical  
22 data, where most of the difference can be explained by  
23 historical trends or variability. But through the process  
24 we also identify some residual biases in some of the hourly  
25 localized station-level projections. So for example the

1 night temperatures, especially in winter, tend to be a  
2 little warmer than expected in the projections. We've also  
3 seen a few of the weather stations are so close to the  
4 coast where it requires extra steps to make sure that the  
5 gridded projections used for localization are not in the  
6 ocean, or some of the stations where historical record use  
7 for localization is incomplete for some of the earlier  
8 years prior to 2014.

9           So overall the next steps would be to make  
10 further refinements to the localization method to address  
11 these remaining biases and improve the characterization of  
12 hourly what's used in demand forecasting.

13           So, with that, I'll pass it to Mariko.

14           MS. AYDIN: Thank you, Onur. This is Mariko.

15           Next slide, please.

16           Dewpoint. Dewpoint is a necessary input to the  
17 hourly demand forecast model. Dewpoint is an indicator of  
18 the air's absolute moisture content. So in that regard,  
19 high dewpoints are a better measure of human discomfort  
20 than something like relative humidity, which can be high  
21 even at low temperatures. Dewpoint is not an output in the  
22 WRF or LOCA2 models, but it can be derived from temperature  
23 and relative humidity, and there's no localization model  
24 currently available for dewpoint.

25           So what we did is we derived dewpoint from the

1 detrended temperatures and the relative humidity at the  
2 closest three kilometer grid cell to each station. And we  
3 do this calculation for each of the 204 weather variants  
4 corresponding to each demand forecast year, and then at  
5 each weather station. And this calculation preserves the  
6 physical relationship between the projected relative  
7 humidity in the area and our detrended temperatures, and  
8 we're applying the same formula as used by Cal-Adapt.

9           On our last slide, the next slide, we have cloud  
10 cover. This is another necessary input to demand forecast.

11           This was more difficult to derive from the  
12 climate projections, but we did come up with an approach  
13 that performs surprisingly well. The results are in our  
14 appendix slides. Cloud cover is also not an output for WRF  
15 or LOCA2, at least not at the level of granularity we need,  
16 and there's no localization model for it.

17           WRF and LOCA2 models, they output various metrics  
18 on solar insolation, which could be a good substitute, but  
19 remember the demand forecast models are trained on the  
20 historical relationship between weather metric and demand.  
21 So for demand forecast, we really need climate projections  
22 metrics that are also in the historical record or can be  
23 reconstructed for the historical record.

24           We estimated an hourly multinomial probit  
25 regression model for cloud cover to capture the historical

1 statistical relationship amongst cloud cover, other  
2 available weather metrics, calendar effects such as month  
3 and hour, and location. And to do that, we used a separate  
4 multinomial probit model for each weather station with  
5 explanatory variables including hourly precipitation, 24-  
6 hour precipitation, relative humidity, a two-part  
7 temperature spine, and indicators for month and hour. And  
8 then the probit model results are then applied to the  
9 downscaled GCM data at the closest three kilometer grid  
10 cell to each station, and then we map all of that  
11 information back to the temperature variants based on the  
12 GCM run and the year.

13           So if you're curious about that model, please  
14 take a look at our appendix slides. Let us know if you  
15 have any questions.

16           That's the end of our presentation.

17           Thank you for your attention, and we're happy to  
18 answer any questions you may have.

19           COMMISSIONER MONAHAN: Vice Chair, we can't hear  
20 you.

21           I think maybe you're on double mute.

22           VICE CHAIR GUNDA: Thank you.

23           I was on double mute.

24           Did you want to kick off?

25           COMMISSIONER MONAHAN: I was hoping you were

1 going to lead this one, Vice Chair Gunda, because this is  
2 pretty sophisticated modeling, and I have got to say my  
3 head is spinning.

4 I actually had really basic questions.

5 But so maybe actually I could start with a basic  
6 question --

7 VICE CHAIR GUNDA: Yes. Totally.

8 COMMISSIONER MONAHAN: -- and then you could go  
9 actually with a sophisticated question.

10 But I'm curious, like, how much difference does  
11 it make in terms of our electricity use -- or peak  
12 electricity use, I guess -- when we're taking into effect  
13 things like cloud cover and dewpoint? I just -- for the  
14 unsophisticated among us who are learning this, like, how  
15 much of a difference is this making in terms of the actual  
16 peak demand? Or could this make, you know, when you're  
17 looking at kind of the range, the extremes?

18 MS. AYDIN: Thank you for the question. This is  
19 Mariko.

20 So in terms of dewpoint and cloud cover versus  
21 temperature, temperature is definitely the most dominant  
22 explanatory variable.

23 I'm not sure -- I don't think Nick has in his  
24 presentation the exact, you know, relative magnitude of  
25 each, but in his presentation, he will go through aggregate



1 results and impacts on the peak forecast versus the  
2 methodology.

3 COMMISSIONER MONAHAN: I have to say, though, I'm  
4 going to be in a meeting from 1:30 to 2:00, so I hope I  
5 don't miss that piece.

6 MS. AYDIN: Oh. Okay.

7 COMMISSIONER MONAHAN: But I was curious about  
8 it, but okay.

9 VICE CHAIR GUNDA: Commissioner Monahan, I think  
10 one point just to kind of consider, like -- so when we had  
11 the 2022 crisis, right? So one -- we're tracking two  
12 things. One is, you know, what is going to be the system  
13 hourly load that the CAISO is going to see, and that is the  
14 composite of consumption minus behind-the-meter generation.  
15 So and then you're also kind of trying to match on the  
16 other side.

17 Specifically on cloud cover, which was a  
18 significant point of concern for the legislature, you know,  
19 we had monsoonal conditions coming out of the 14th and  
20 15th. So if you look at August 17th, 18th, we had  
21 monsoonal conditions, and we had the significant drop in  
22 solar production in front-of-the-meter on the bulk side.  
23 But that was also, you know, kind of accentuated by a  
24 significant drop in behind-the-meter solar production, and  
25 then my recollection based on some data was, like, it's in

1 the thousands of megawatts that we saw kind of a shift  
2 because of the cloud cover in behind-the-meter.

3 COMMISSIONER MONAHAN: Wow. So that's really  
4 significant. Right

5 VICE CHAIR GUNDA: Yes.

6 But Nick might have more accurate numbers based  
7 on where we are today. Back in the day, we were trying to,  
8 you know, stitch together some back-of-the-envelope  
9 calculations to answer some questions coming from the  
10 legislature.

11 So Nick, I don't know if you have more pointed  
12 answers on the cloud cover impacts.

13 MR. FUGATE: No, not on the -- so I just --  
14 Commissioner Monahan, that's a great question, and one I  
15 was not expecting to speak to, but I'm just quickly here  
16 pulling up our regression statistics.

17 And just to -- you know, I can give sort of a  
18 sense of the magnitude. Temperature is clearly the biggest  
19 driver for peak load and so, you know, just looking at our  
20 regression results for, you know, PG&E for example, for  
21 '19, for a single-degree increase in temperature, we're  
22 looking at, like, an increase of 120 megawatts whereas with  
23 dewpoint it's much less impactful. So, you know, for every  
24 incremental increase in the dewpoint metric, we're looking  
25 at a 25-megawatt increase. And also the dewpoint statistic

1 is over sort of a narrower range.

2           So generally as we're performing the simulations  
3 temperature is by far the biggest driver, dewpoint less so,  
4 but both -- and cloud cover even less so -- but both have,  
5 you know, predictive power in our model.

6           MR. AYDIN: Can I add one more thing?

7           I think, I mean, definitely temperature is the  
8 biggest kind of driver of demand, and then cloud cover  
9 affecting the behind-the-meter solar generation is probably  
10 the close second today.

11           But I think to some extent, the dewpoint not in  
12 all hours of the year, but the times when the temperatures  
13 are high and also the dewpoint and the humidity is high --  
14 that combination in a small subset of the hours can really  
15 affect the impact of the felt temperatures. So I haven't  
16 really looked at the exact impact in terms of, like, a  
17 total like megawatt, but I know that it's definitely -- as  
18 Nick said, it has a predictive power, and that predictive  
19 power is more pronounced during those kind of peak extreme  
20 hours when the temperatures are high as well, so.

21           That's a really good question.

22           COMMISSIONER MONAHAN: Thanks, that was really  
23 helpful.

24           VICE CHAIR GUNDA: Thank you, Commissioner  
25 Monahan. Thanks for setting that up.

1 I don't know if I have any more stuff to say  
2 here, but I have some questions.

3 But before I go to that, Commissioner Shiroma, it  
4 looks like you have a question. Please go ahead.

5 COMMISSIONER SHIROMA: My question is this, and I  
6 appreciate that we are substantially looking at the peak  
7 modeling, factoring in bias, what have you, but for the  
8 cloud cover piece of this, during the time when solar is  
9 being relied upon heavily, especially in the future, and if  
10 you've got cloud cover, it drastically impairs the  
11 efficiency of the solar. So is that something that we look  
12 at in the future?

13 Only because, you know, that the peak solar  
14 doesn't coincide with the temperature.

15 But is that a next -- is that kind of already  
16 factored in, or is that kind of a next phase in terms of  
17 just efficiencies of the DER, AKA solar?

18 MR. FUGATE: So maybe I'll speak a little bit to  
19 that. It is a question that we have been grappling as  
20 we're thinking about our load modeling process.

21 So, you know, we are bringing PV generation into  
22 our process in multiple dimensions. One is, you know, in  
23 the historical process as we are attempting to estimate our  
24 models. So what we're actually modeling is really a  
25 counterfactual estimate of consumption, right, which we

1 don't have actual recorded values for. What end users are  
2 actually consuming in total, regardless of how that demand  
3 is being served.

4           And so to get to that, we are actually bringing  
5 in our best estimate of what actual PV generation is  
6 happening. So in the historical record, we have cloudy  
7 days that will reduce the generation -- behind-the-meter  
8 generation that we are adding to the system load data that  
9 we have to come up with that consumption number.

10           So that's one way that we're trying to address  
11 the impact that cloud cover can have on solar generation  
12 and thereby on load.

13           In the forecast period, what we have  
14 traditionally done is use a normal or sort of average solar  
15 generation profile and decremented our forecast of  
16 consumption using that normal profile. And I'll speak a  
17 little bit more about this in my presentation, but that  
18 sort of reduces the variability that you would perhaps  
19 expect to see in the forecast period, because, you know, a  
20 normal profile is -- and I actually do have a specific  
21 slide on this, so I'll try to be brief now -- but a normal  
22 profile is not going to reflect those types of days where  
23 you have reduced PV generation due to cloud cover.

24           So when I say that cloud cover has a low impact  
25 in our modeling, that's, you know, I'm sort of -- that's

1 because we're modeling consumption. So if we were, you  
2 know, if we were to -- and one of the things that we're  
3 looking to do in future cycles is find a way to reflect  
4 that variability that you would expect to see in behind-  
5 the-meter solar generation and the resulting impact on  
6 demand profiles.

7           So that is a key question, so thank you for  
8 asking.

9           COMMISSIONER SHIROMA: Yes, thank you. And  
10 that'll factor into future, you know, rate design.

11           Thank you Nick, and thank you Vice Chair.

12           VICE CHAIR GUNDA: Thank you Commissioner  
13 Shiroma.

14           I have just a couple of comments and a couple of  
15 questions.

16           So first I think Mariko and Onur, thank you so  
17 much for the presentation. I mean, I can't tell you how  
18 excited I am as you guys are working through that stuff.  
19 Just, you know, the amount of effort that's going in. And  
20 Mariko, I also just appreciate you really recognizing the  
21 group effort.

22           And then I want to just commend the CEC team and  
23 all of the work that they do in really just bringing this  
24 together. So really, really appreciative of the  
25 presentation.

1 I have a question first and then maybe another  
2 comment.

3 If we go back to slide number seven real quick.  
4 Like just from a visual perspective on slide number seven,  
5 I think especially on the HDD side, it seems that kind of  
6 the distribution gets narrower as you go down into the  
7 later years. So the spread's higher in the near term, and  
8 as you go, you know, longer into the future, it's just --  
9 is that just, you know, what do we -- is that first of all  
10 real, the -- kind of the narrowing of the temperatures?  
11 And if it's yes, then kind of like what do you attribute  
12 that too?

13 MR. AYDIN: Yes, I think it's not this slide.  
14 It's slide seven of, I think, our slides.

15 Yes, maybe a couple more.

16 Next one.

17 Yes.

18 This slide, right?

19 MR. AYDIN: Yeah. So, I mean, we've been really  
20 looking into that. That's a great question.

21 So I mean one reason for really looking in --  
22 developing the weather variants for each of the years to  
23 really get a kind of an insider view of what can happen in  
24 a given year, the variation, having more data points on how  
25 that can kind of evolve over time, you know, with the

1 expectation that it might -- the variation might grow, or  
2 it might just stay constant.

3           When I look at it, I don't see the variation  
4 shrinking as much. My read is that, given the four WRF  
5 formulations that they've used for this cycle and the  
6 detrending approach, that it really translates into around  
7 the medium levels a variation that seems to stay relatively  
8 constant.

9           And again, I mean, I think that might be just an  
10 outcome of using a more modest emission scenario. We used  
11 SSP3-7.0. I'm sure there are other emission scenarios  
12 where when you really look at the potential outcomes, when  
13 you go up to the mid-century, that the variation might  
14 really go much higher, recognizing that uncertainty. But  
15 that's something that hasn't been really considered for  
16 this cycle. We focus on a specific emission scenario.

17           VICE CHAIR GUNDA: Yeah, maybe this is something  
18 I follow up.

19           But let me ask you -- let me kind of share with  
20 you where it's coming from, the question.

21           So one is kind of how do we deal with the median  
22 and incorporating that into a planning on the supply side,  
23 right? So the IRP is going to tee off of this.

24           Second use case for this is really around  
25 developing what an extreme scenario we need to be prepared



1 for on the grid in a given summer. So my lens of this is  
2 how do we make that 90th percentile or 95th percentile that  
3 we need to kind of keep an eye on?? And kind of want to  
4 understand is it essentially going to follow the same trend  
5 or it's going to widen or tighten over time, right?

6 So that's kind of the question, where it was  
7 coming from, but if we have any quick response, but if we  
8 can follow up.

9 MR. AYDIN: Yes. I mean, I think, you know,  
10 that's a great question. I mean, I think the question is  
11 great.

12 I think one challenging aspect of that is when we  
13 think about extremes, you know, 95th or 90th percentile.  
14 You know, it's one thing from energy perspective, you know,  
15 it might mean something versus from a peak perspective, it  
16 might be a different -- there's so many different  
17 dimensions of the weather inputs going into the demand.  
18 Like, what is really normal and what is extreme? It's  
19 really multidimensional.

20 And I think that's why we were trying to set this  
21 up in a way that, you know, we have specific variants, we  
22 call it weather variants, so you can kind of keep track of  
23 that variant and the corresponding implications for CDDs,  
24 HDDs, and corresponding impacts on peak temperatures and,  
25 you know, in the future, like, the electrification -- if

1 cold temperatures become also more important, that you'd be  
2 able to track all of that metric for each individual  
3 variant.

4 My guess is like for this IEPR cycle, and as  
5 Mariko said, we were somewhat limited in terms of what we  
6 could incorporate, just because of the timing of the  
7 climate data that became available, and the timing of the  
8 IEPR. So we use four simulations and then just like really  
9 stick with it.

10 But, I mean, I think our aim is to really extend  
11 that analysis and look at really a broader range of the  
12 additional WRF simulations that are dynamically downscaled,  
13 and then also some of the local runs Mariko mentioned.  
14 Just to see, as you mentioned, kind of a closer look at the  
15 extremes, and how to really pinpoint like the extreme that  
16 needs to be considered for persistent planning.

17 It's something in our radar, but it doesn't  
18 necessarily show up in this slide.

19 VICE CHAIR GUNDA: Yes. Thank you.

20 I know there's a few questions coming up, and  
21 some of those questions are along the lines of this  
22 discussion, so I want to end it that way.

23 But just kind of one closing thought is I want to  
24 completely recognize kind of the interrelationship with the  
25 distributions of -- whether it's temperature, whether it's

1 kind of the consumption -- all of this is kind of connected  
2 in a more complex way.

3 I would love for us to continue to think through,  
4 how are we standardizing the weather variants, you know,  
5 consistently across CEC and PUC processes, right? So we  
6 have that visibility of what we are doing here on the  
7 demand forecasting either translates, double counts, or is  
8 not captured, right? And how do we do that? So I'll just  
9 put that as a flag for us to think through.

10 And for me kind of one of the things that we can  
11 immediately kind of work on is, especially given the  
12 reliability concerns, how do we translate some of the  
13 results from here into potentially thinking through -- even  
14 qualitatively, right -- in the near term, on how do we  
15 think about the extreme weather events and, you know,  
16 making sure that we have enough, you know, resources during  
17 those times.

18 So anyway, again, I just wanted to flag that.

19 Thanks to Heidi and Nick for their excellent  
20 leadership internally, and to both of you, amazing  
21 presentation. I look forward to continue working with you  
22 all.

23 With that, I'll pass it to Heather.

24 MS. RAITT: Great, thanks. So Heidi is going to  
25 moderate a couple of questions. I don't know that we have

1 time to do all of them, but let's see what we can do.

2 MS. JAVANBAKHT: Yes.

3 So this is probably a question for Nick. The  
4 question is from Mark Jimenez at PG&E. How can the IEPR be  
5 broken down to reflect coastal, interior, and mountain  
6 climate differences?

7 MR. FUGATE: Broken down, so I suppose that's a  
8 question about disaggregating our forecast.

9 And this question -- so right now we have weather  
10 stations, right, that we are waiting to come up with a  
11 single set of weather statistics for each of our forecast  
12 zones. To some extent those forecast zones are coastal and  
13 inland, but our hourly analysis is sort of -- at the  
14 moment, we would have a challenge to break that down  
15 further than our planning area. And that is because the  
16 hourly loads that we use to estimate our models are the  
17 CAISO EMS data, so that is at the system level.

18 So really, in theory, we could go down to  
19 forecast zones without too much additional complication,  
20 provided we had hourly data to estimate our models. So  
21 perhaps that is a discussion that, you know, could  
22 translate into the AMI data space, so potentially a use  
23 case there if that is a need or would be valuable.

24 MS. JAVANBAKHT: Thanks, Nick.

25 And we have one other question to answer live for

1 Lumen.

2           So on slide 8 of the Lumen presentation, why does  
3 the 2023 distribution not have a 108-degree observation?  
4 And this question comes from Carrie Bentley at Gridwell  
5 Consulting.

6           MR. AYDIN: Yeah, I mean, I think that goes to  
7 the importance of the extreme, very extreme events that  
8 Vice Chair Gunda was just referring to.

9           I think it's -- one thing to clarify on that  
10 chart is the scale is different. The historical data,  
11 because it's somewhat limited, there's only one observation  
12 of 108 degrees in the aggregate CAISO metric. And with  
13 historical standard, it's a really, really extreme metric  
14 that doesn't seem to be captured in the climate  
15 simulations. Like, so, you know, looking at the four  
16 simulations and at those -- the window of different years  
17 to capture the variability, it looks like, you know, we  
18 either don't have or a somewhat limited representation of  
19 that level of extreme. And again, that's something that is  
20 definitely on our radar.

21           I don't really think that, you know, necessarily  
22 impacts the overall grid planning, which tends to kind of  
23 just like aim for like, you know, a one-in-10-year kind of  
24 load standard from a resource planning perspective. The  
25 108-degree was based on historical standards and also on

1 the projections. It's a far more reaching kind of event.

2           Having said that, I think it's something that we  
3 definitely want to investigate more, especially with the  
4 new data, the new simulations that have become available.  
5 We want to look and see if there are more extremes  
6 available in those climate simulations.

7           MS. RAITT: Alright.

8           Well thank you Heidi, and thank you Onur and  
9 Mariko. Appreciate your presentations, and unfortunately  
10 we need to move on.

11           So next we have Nick Fugate to present the  
12 results of the forecast.

13           So go ahead, Nick.

14           MR. FUGATE: Thank you.

15           So good afternoon, everyone. My name is Nick.

16           I'm going to be talking about the hourly peak  
17 electricity demand forecast, particularly some of the  
18 changes to our process that we have tried to implement for  
19 the 2023 cycle.

20           So as Heidi mentioned, this was a challenging  
21 cycle in general. You know, we debuted some new models,  
22 which were discussed at earlier workshops. We've added  
23 some fantastic new staff and some new and important  
24 datasets, and all of this is very exciting. But it added a  
25 lot of additional work to our process, which is part of why

1 we are here so late in the month. So I just wanted to  
2 thank everyone again for taking the time to be here.

3 Next slide.

4 So the Energy Commission's peak forecasts are  
5 used as a direct input into resource reliability and  
6 transmission studies as Heidi mentioned. Similar to  
7 previous cycles, our forecast team has assembled two  
8 specific scenarios -- the planning forecast and the local  
9 reliability scenario -- that I'll be referencing in this  
10 presentation. So we've discussed those previously.

11 Heidi mentioned that the key difference this year  
12 is around the CARB rule being implemented in the planning  
13 scenario this year, not just the local reliability  
14 scenario. So there's a -- and also Heidi mentioned that  
15 there's a single forecast set agreement between CPUC, CEC,  
16 and CAISO. So that agreement evolves year to year. It's  
17 memorialized each year in the IEPR.

18 My presentation is mostly going to focus on our  
19 hourly modeling process. Most of the use cases for this  
20 work focus on peak system loads. These though are derived  
21 from our hourly forecasting process.

22 So at a high level our hourly load model, or HLM,  
23 has three broad steps to it.

24 First we develop a base load consumption profile,  
25 which is meant to reflect reasonable levels of load for

1 every hour of the year under normal conditions, and to also  
2 reflect realistic patterns within days, months, and  
3 seasons. That's based on current conditions as the system  
4 and as customer behavior exists today.

5 We then apply that profile to our annual  
6 consumption forecast, or rather to a version of our annual  
7 forecast that has the effects of specific load modifiers  
8 removed. And that's because in the second step we account  
9 for those load modifiers separately because each of them  
10 has their own distinct profile. We then layer those load  
11 modifier profiles onto the base profile to complete our  
12 hourly forecast.

13 And then as a final step we calibrate the base  
14 load profile, scaling and shifting it slightly until the  
15 resulting peak value in the first year of our forecast  
16 aligns with our weather normal estimate of the most recent  
17 summer peak.

18 Next slide please.

19 Our hourly load model has been largely unchanged  
20 for the last several cycles really. This year we attempted  
21 to rebuild many of its component pieces. This is in part  
22 to respond to stakeholder needs and in part because we had  
23 new data and analysis which enabled some of this work, and  
24 also in part our hands were simply tied by staff turnover.  
25 So this rebuild was a good opportunity for new staff to



1 become more intimately familiar with the model.

2           In any case, we had a few high-level objectives  
3 in mind this year.

4           First and foremost, we wanted to ensure that we  
5 were well positioned to use all of this new climate  
6 modeling analysis that Lumen just described. Our EPIC  
7 grant recipients -- Lumen, Eagle Rock Analytics, and others  
8 -- have been just incredibly supportive in providing  
9 analytic and data products that are well-suited to our  
10 forecast. We wanted to use what data we could for this  
11 cycle, but also take steps that would help prepare us for  
12 additional work next cycle. And I'll talk a bit more about  
13 this later.

14           Second, we wanted to update our base consumption  
15 profiles. These should represent some reasonable patterns  
16 but, you know, without a refresh of the profiles. They  
17 have drifted away in recent cycles from historic patterns  
18 and some key regards.

19           The third point we had in mind was to support the  
20 development of data sets for stochastic system modeling.  
21 Our hourly forecast is intentionally designed to be pretty  
22 normal. This is useful in many types of studies, but some  
23 system reliability studies need to consider a much broader  
24 range of possible load patterns. So one of our longer term  
25 objectives is developing distributions of hourly load

1 profiles consistent with our forecast.

2 Next slide, please.

3 Creating a weather normal estimate of peak load  
4 is the last step in our process. But it's also the  
5 starting point for the forecast. So I'm going to start  
6 with it.

7 Next slide.

8 We calibrate our hourly forecast to the most  
9 recent year of historical peak load. But peak load is  
10 highly sensitive to temperature and our hourly forecast  
11 assumes normal conditions. So it's important that we not  
12 calibrate our results to an extreme load event. 2022, for  
13 example, was a record-setting summer for peak load. 2023  
14 was actually quite a mild summer. I was thinking this back  
15 in September, but I didn't want to say it and tempt fate.  
16 But at this point in the year, it's probably safe to call  
17 2023 a mild summer.

18 Now, if we had calibrated to either of those  
19 actual peaks, our forecast would have been skewed high or  
20 low, respectively. So instead we need a counterfactual  
21 estimate which takes into account the observed load  
22 response to temperature, but then assumes normal peak  
23 weather conditions. And to illustrate this point, I've  
24 plotted daily peak load against a weighted average of  
25 temperature statistics for San Diego Gas and Electric.

1 Here, the slope of the clusters of data points for each  
2 year would give some rough intuition around the load  
3 response to temperature in each particular year.  
4 Generally, the 2022 data points are higher than 2021, which  
5 are higher than 2020 throughout the temperature range. So  
6 you might look at this and expect the normal peak estimate  
7 to be increasing each year in that window.

8 Next slide.

9 Before I talk about what we're doing differently,  
10 let me outline our existing process.

11 We start with hourly system loads from CAISO and  
12 we add to that estimated impacts of load reduction events.  
13 These could be called programs, or voluntary conservation  
14 during flex alerts, for example. These estimates come to  
15 us from the IOUs and CAISO. We do this because  
16 dispatchable demand response is considered on the resource  
17 side of the balance sheet, and so we don't want to double  
18 count by embedding those impacts in our forecast as well.  
19 And for weather data we use a number of weather stations  
20 located across the state that we weight to create a single  
21 set of daily statistics for each planning area.

22 Once we have our counterfactual loads, we select  
23 the peak load for each day of the last three summers, and  
24 we regress those against weather effects such as maximum  
25 and minimum daily temperatures and calendar effects like

1 day of the week and month. We do this to establish the  
2 current load response temperature and then we use that  
3 regression model to simulate peak loads using historical  
4 weather data from the last 30 years.

5           It's during that simulation step, as I mentioned  
6 previously, that we have typically, I guess, in order to  
7 account for climate change absent this type of climate data  
8 that Lumen just discussed what we have done in previous  
9 cycles to kind of account the climate trend is during the  
10 simulation step we have sampled more recent historic  
11 weather patterns more frequently, so sort of adding a  
12 recency bias to the simulation step.

13           And from the resulting set of simulations we take  
14 the maximum values and we select the median value for those  
15 maximums as our normal estimate. So that is the process as  
16 we have been implementing it in previous models.

17           Next slide.

18           This cycle, though, we have implemented some  
19 changes. We transitioned from using historical weather  
20 patterns to the synthetic climate variants that Lumen  
21 discussed earlier. This was something of a priority.  
22 We've been discussing for several cycles now some of the  
23 limitations of using historical data to simulate loads in  
24 the context of a changing climate.

25           We've talked about using an abbreviated

1 historical window, but that has problems, as Onur noted in  
2 his presentation. You miss decadal patterns. You don't  
3 have as much confidence in the resulting load  
4 distributions. On the other hand, this climate data offers  
5 us 204 weather patterns meant to reflect present-day  
6 conditions.

7           We also moved from a daily peak model to a set of  
8 hourly models. We looked at the recent historical load  
9 record and identified the hours where the daily peak load  
10 was likely to occur, and then we developed and estimated a  
11 model to predict load for each of those hours individually.  
12 Then the maximum daily peak is just the maximum of the  
13 individual hourly predictions. And the idea here was to  
14 reduce the confounding effects of behind-the-meter solar,  
15 which varies significantly across months and hours within  
16 the peak window. But it also allowed us to introduce other  
17 explanatory variables, such as dewpoint and cloud cover.  
18 Doing so brings the weather normalization modeling process  
19 more in line with the predictive variables that we are  
20 using in our hourly load modeling process.

21           In general, these individual hourly models  
22 perform better than the single daily peak model that we  
23 have been using previously.

24           Next slide.

25           So here I'm illustrating the distribution of

1 daily max temperatures for each IOU planning area,  
2 comparing specifically the distribution implied by the last  
3 30 years of history against the distribution implied by the  
4 climate variance.

5 Median values increase for both PG&E and SDG&E,  
6 not so much for Edison. But this is just one statistic and  
7 the same chart for daily minimum temperatures, which also  
8 has predictive power in this analysis, it shows an increase  
9 across all three territories. And this is in line with  
10 what we have observed historically with recent minimum  
11 temperatures: daily minimum temperatures increasing at a  
12 faster rate than daily maximum temperatures.

13 Next slide.

14 And I'm sorry. There is a mistake on this slide.  
15 I recycled this one from last year's presentation, changing  
16 the numbers on the table. But that note at the top, giving  
17 weight to more recent weather years, that no longer  
18 applies. That was from last cycle.

19 Anyway, the table is the key feature here.

20 So showing the results of our peak normalization  
21 process for CED 2023, planning areas are identified in the  
22 first column. The second column has the actual system peak  
23 for summer 2023, with the caveat that we've added load  
24 response impacts to the CAISO's load history. That third  
25 column is our normal peak estimate for 2023. Again, 2023

1 was a relatively mild summer, so directionally these values  
2 make sense. The fourth column is our estimate from last  
3 year, and the last column is the percent change between  
4 this year's estimate and last year's. So despite the  
5 significant methodological changes, there were not actually  
6 at a hugely different level.

7           There are a couple more advantages that stem from  
8 this change. One is that it should be more consistent  
9 year-to-year. That is, the change in peak load will come  
10 more on the model estimation from the apparent changes in  
11 load response to temperature. So the changes will come  
12 from that rather than the addition of new weather patterns  
13 for simulation. So under the previous process, we were  
14 using a smaller number of weather patterns, and each year  
15 we are adding new patterns, the addition of an extreme  
16 weather year can change the sort of implied distribution,  
17 especially when we were weighting more recent years more  
18 heavily.

19           Let's go to the next slide, please.

20           And one additional benefit is that under this  
21 process we can speak a little more confidently about the  
22 distribution of peak loads. So this table shows the 1-in-x  
23 peak factors that are implied by our CED 2023 normalization  
24 analysis. And what I mean by this is these are the  
25 multiplicative factors that we could apply to our annual

1 normal peak forecast to get, for example, our one in five  
2 peak forecast, which is the peak load you would expect to  
3 exceed only once every five years. For each planning area,  
4 I'm showing two sets of factors: the existing factors that  
5 we've been using for a number of cycles now, and the new  
6 factors implied by this analysis.

7           So across the board, both PG&E and SCE have  
8 higher peak factors. SDG&E are actually a little lower,  
9 but these factors are relative to the median expectation.  
10 And so, you know, you might recall from the distribution I  
11 showed earlier that, you know, SDG&E had the greatest  
12 increase in median values. So that is one thing to keep in  
13 mind here.

14           So these new factors could be applied when we  
15 finalize our set of peak forecasts, and we would welcome  
16 any stakeholder input on that point specifically.

17           Next slide, please.

18           Okay, so moving on to the hourly model itself.

19           Next slide.

20           This is about the highest-level overview I can  
21 provide of our process as it has existed for the last few  
22 cycles. Fundamentally the concept is similar to our  
23 weather normalization approach. The input data sets are  
24 similar. Demand response is added to system load. In this  
25 case though we also add estimates of behind-the-meter PV



1 because what we're modeling isn't system load but actually  
2 hourly consumption.

3           The model predicts consumption ratios as a  
4 function of weather and calendar effects. We have an  
5 individual model for each planning area and hour of the  
6 day, which we've typically estimated with five years of  
7 load and weather data, the weather data being temperature,  
8 dewpoint, cloud cover. And having estimated these models,  
9 we then use them to simulate consumption ratios using  
10 historical weather patterns. At this point, we have 22  
11 historical weather patterns. We also artificially cycle  
12 through days of the week for each pattern, just so that  
13 we're not obscuring the effects of a particularly hot day  
14 by having it fall exclusively on, for example, a Sunday.

15           Then for each simulated year we rank-order the  
16 ratios and across all years we select the -- I'm sorry.  
17 Across all years we select the median ratio from each rank.  
18 So that gives us a normal 8760 load duration curve, and  
19 then we assign those values to specific hours of the year  
20 based on ranks derived from averages of recent historical  
21 load patterns.

22           Next slide, please.

23           This year we rebuilt the model. The climate  
24 libraries Lumen discussed earlier, there are 204 hourly  
25 weather patterns specific to each forecast year over almost

1 20 forecast years. This is in contrast to just 22  
2 historical patterns that we're currently using for  
3 simulation. So it's orders of magnitude more simulations,  
4 and on top of that the simulations would need to be  
5 structured differently with a unique set of patterns for  
6 each forecast year.

7           We're not currently using the climate data in the  
8 simulation step. We modified our models to be able to do  
9 that, and we have completed a run, sort of a proof of  
10 concept, but this is a significant change. We noticed some  
11 peculiarities that warrant further investigation, and we  
12 don't feel comfortable implementing it without further  
13 review both internally and with stakeholders. So this is  
14 something we will consider for next cycle, but we did do a  
15 lot of work with the framework in place.

16           A related change that we did implement for the  
17 calendarization step: where we're assigning consumption  
18 ratios to specific hours of the year, we moved from  
19 developing ranks based on historical averages to developing  
20 ranks based on simulated values. We view this as something  
21 of a necessary change. One of the primary benefits of  
22 using the climate data in our hourly modeling process is  
23 that we can have load patterns evolve over the forecast  
24 horizon consistent with evolving weather patterns. So not  
25 just reflecting, say, you know, average increases in

1 temperature, but reflecting, you know, longer-duration heat  
2 waves, warmer shoulder months, et cetera. So using  
3 simulated values to do the calendarization allows us --  
4 will allow us to do that, whereas using the historical  
5 loads in the calendarization steps sort of cements us into  
6 a single present-day pattern.

7           And finally, we have changed how we're  
8 considering PV generation in our counterfactual consumption  
9 history. Because we didn't have anything better  
10 previously, we had been using average profiles and adding  
11 those to system loads, but that poses some issues.

12           Next slide.

13           So this year we procured meter data for a  
14 substantial segment of California's behind-the-meter PV  
15 systems. This gives us some insight into actual generation  
16 on any given day. So in the chart here I'm comparing the  
17 normal estimate we had been using to reconstitute  
18 consumption and I'm comparing it to the levels of PV  
19 generation implied by the meter data. Generally the normal  
20 profile underestimates generation on most days slightly,  
21 but on cloudy days the normal profile significantly  
22 overestimates generation. So if we were to add the normal  
23 profile to system loads as we have done in the past on  
24 those cloudy days, we'd have huge spikes in counterfactual  
25 consumption. Using the meter data mitigates this issue,

1 and that's actually one of the reasons we haven't updated  
2 our base load profiles in a couple cycles.

3 Next slide, please.

4 But with the update to our base load profiles, we  
5 see some improvement to one of the issues exhibited by our  
6 previous profile. So here I'm showing our average system  
7 load profiles for year 2022. One is from last cycle, CED  
8 2022. That is our old profile. And then one is our  
9 preliminary updated profile for this cycle, CED 2023. And  
10 then we have one representing actual historical loads for  
11 year 2022. And again, these are average weekday profiles.

12 And generally the updated profiles produce net  
13 loads that are much more closely aligned with the  
14 historical values on average, especially in some key  
15 months. So you know CAISO had observed, for example, in  
16 the winter months, our evening peak was much higher than  
17 our morning peak, whereas, you know, in the CAISO system we  
18 have been seeing typically more comparable levels of  
19 morning and evening peaks.

20 Next slide, please.

21 This has implications for another key use case.  
22 Our hourly forecast service is an input to CAISO's Flex RA  
23 study, which examines resource needs to meet average  
24 maximum daily three-hour system ramps. CAISO has noted  
25 that the ramps implied by our hourly forecast far exceed

1 recent historical ramps -- again, on average.

2           So this chart shows values from CED 2022 using  
3 all profiles are preliminary CED 2023 profiles, and then  
4 compares them to a history, all for calendar year 2022.  
5 You can see the exaggerated ramps implied by the old  
6 profiles, which are problematic for Flex RA, especially in  
7 the winter months. The preliminary CED 2023 profiles seem  
8 to mitigate this issue.

9           Next slide please.

10           So monthly peaks: another key statistic taken  
11 from our hourly forecast. These are used to set resource  
12 adequacy requirements. I'm showing our new preliminary  
13 peaks for year 2023 in contrast those with the CED 2022  
14 forecast and with the last seven years of historical peaks.

15           A few things stand out here. Our preliminary  
16 forecast seems particularly low in the winter months and  
17 early spring. July stands out as slightly high, and  
18 October, while not necessarily unreasonable from a one-in-  
19 two perspective, is substantially lower than previously  
20 forecast. So we will be speaking with CPUC and CAISO.  
21 We've already initiated some discussions and we'll work to  
22 understand any implications from this.

23           Next slide please.

24           Moving on to load modifiers.

25           Next slide.

1           Recall that we are using the hourly load model to  
2 develop base consumption profiles without any impact on  
3 load modifiers. So that's what I'm showing here for select  
4 years. You can see the shape is relatively static over  
5 time, each hour increasing in proportion to our annual  
6 consumption forecast. We then layer on the impacts of load  
7 modifiers to get the resulting system profile, which is  
8 kind of the key output.

9           So next slide.

10           The system profile is not static over time.  
11 Instead, it evolves with the addition of load modifiers.  
12 In the interest of time and because they've been discussed  
13 at other workshops, I'm not going to go over each load  
14 modifier profile individually, but the most impactful  
15 modifiers are PV, which carves a significant portion of  
16 load out of the middle of the day. Fuel substitution adds  
17 substantial load in the morning and evening hours; EV  
18 charging taken together adds substantial load in the middle  
19 of the night and middle of the day. And as an appendix to  
20 this presentation, I've included charts sort of similar to  
21 this one but which show the evolution of impacts over time  
22 for each of our individual load modifiers. Fuel  
23 substitution and EV charging profiles are both relatively  
24 flat over the peak window, kind of leaving behind-the-meter  
25 PV to push the peak hour gradually later in the evening to

1 hour 18.

2 Next slide.

3 So here I'm showing the impact of each load  
4 modifier on the peak day, isolated to hour 18. This is the  
5 impact in 2040 relative to the impact in 2022. Fuel  
6 substitution and electric vehicle charging together far  
7 outweigh the impacts of all other load modifiers.  
8 Everything taken together, these modifiers add nearly  
9 20,000 megawatts to forecast system load in the planning  
10 scenario.

11 Last year -- oh, I'm sorry.

12 Next slide.

13 Last year, I noted specifically for the  
14 reliability scenario that the addition of fuel substitution  
15 impacts significantly increased the managed winter peak  
16 forecast by the end of the forecast period. That same  
17 point is relevant and this time with the changes to the  
18 planning forecast, including the CARB rule, it's relevant  
19 for the planning forecast as well as the local reliability  
20 scenario. So by 2040 roughly 15,000 megawatts of fuel  
21 substitution impacts are enough to push the February  
22 morning peak well over 50,000.

23 Next slide, please.

24 So my next few slides cover preliminary results,  
25 but I want to emphasize that these are preliminary where --

1 I'm sorry, I think we dropped a slide here. But that's  
2 okay.

3 So I want to emphasize that the results of  
4 preliminary were in the unusual position this cycle.

5 Typically by the time we bring results to a  
6 workshop we spend a lot of time with them reviewing them  
7 internally, dissecting those results, making comparisons,  
8 and performing various checks for accuracy and  
9 reasonableness. And with so many of the changes this  
10 cycle, the forecast took much longer typically than usual.  
11 And so we're running into our year-end deadline. We are  
12 presenting results here today and asking for stakeholder  
13 comments and review, but we are working in parallel  
14 internally to continue our own review.

15 So we'll be paying particular attention to  
16 alignment of all the pieces of the hourly forecast, and  
17 have in fact already found a slight issue, which is the  
18 slide that I dropped, with one of our transportation  
19 profiles being misaligned by an hour. So things like that  
20 will need to be corrected before the final results are  
21 posted for consideration for adoption.

22 So next slide, please.

23 Starting with PG&E, which is most similar to last  
24 cycle's forecast both in starting point and in growth rate,  
25 the timing of the peak hour is in line with recent



1 historical peaks, hour 18.

2           The most notable difference here is with the  
3 planning scenario. Like we said, the additional fuel  
4 substitution places significantly more impact into the  
5 planning -- low growth into the planning forecast,  
6 narrowing the gap between the two scenarios, CED 2022 being  
7 the exception. This smaller delta between planning and  
8 local reliability forecasts is actually more in line with  
9 what we are accustomed to in previous cycles.

10           Next slide, please.

11           SCE is somewhat of a different case. While it  
12 starts from a very similar level, our preliminary peak  
13 forecast is occurring earlier in the day relative to last  
14 cycle's forecast. The earlier peak hour means that behind-  
15 the-meter PV is having a much more significant peak  
16 reduction effect in the first few years of the forecast.  
17 By 2026, peak hour shifts to hour 16, so this reduces the  
18 impact of PV, and with that and the rapid acceleration of  
19 electrification, we return to a period of significant peak  
20 growth.

21           Next slide, please.

22           SDG&E also starts from a similar level. The peak  
23 falls on hour 16 throughout the forecast, and this is  
24 earlier than you might expect looking at recent history.  
25 It's also quite a bit earlier than we'd previously

1 forecast. There's not as much PV generation in hour 16 as  
2 there is in hour 15, so you don't see quite the same  
3 initial decline as you do with Edison, but it's enough to  
4 flatten the peak growth in the near term before  
5 electrification really takes off.

6 Next slide, please.

7 This is the CAISO coincident peak forecast, which  
8 starts at a lower level than previously forecast. And this  
9 isn't due to lower coincidence across three IOU TAC areas.  
10 Similar to the other TACs, the peak hour is earlier than  
11 recent history suggests -- hour 16 at the start of the  
12 forecast -- which again means that there's enough PV  
13 generation added in the first few years to speed growth.

14 As I mentioned at the start of this section,  
15 we're still reviewing these results internally, and as we  
16 do, these are two of the points that we'll be focusing on,  
17 both the timing and coincidence of the peak hours,  
18 particularly in the initial years of the forecast.

19 Next slide, please.

20 And from this point, in order to wrap up the  
21 forecast, we're going to docket more detailed data sets,  
22 including the full hourly files showing the full 8760 load  
23 and load modifier profiles. I'll include some summary  
24 files isolating just the peak hours and the peak days,  
25 since those are of particular interest.

1           And during the comment period following this  
2 workshop, we certainly welcome stakeholder feedback, and  
3 also staff can be available for more targeted discussions.

4           We will internally continue to review these  
5 results and address any issues we find prior to posting a  
6 final set results in January to be considered for adoption.

7           That's all for finalizing this forecast, but I  
8 also wanted to note that there are some additional changes  
9 we have in mind to make for next cycle, particularly  
10 related to incorporating the hourly climate data more  
11 directly into our hourly simulation process. But that is,  
12 like I said, a significant change and one that could take  
13 quite a lot of time to vet. Given the preliminary work  
14 we've done this cycle, though, we're well positioned to  
15 start that process early next year. And we've heard from  
16 some of the utilities that they're also working on this  
17 with the newly available climate data, and so this is  
18 actually a pretty exciting opportunity to share data and  
19 methods and experiences so far.

20           So my remaining slides are just an appendix, the  
21 set of load modifier impact profiles for reference. So I'm  
22 going to stop here and welcome any comments or questions  
23 from the desk.

24           MS. RAITT: I think you're double muted, Vice  
25 Chair.

1 VICE CHAIR GUNDA: Thank you.

2 My phone -- I'm trying to not make any noise. So  
3 thank you.

4 Nick, thanks for the presentation. I recognize  
5 that some of the results are in the draft, and look forward  
6 to checking in once you have engagement with the key  
7 players.

8 Just on a couple of things. We don't have to  
9 pull up the slide, but on the CAISO annual peak, for  
10 example, for 2023 and 2024, is it supposed to be month nine  
11 or month seven?

12 MR. FUGATE: It is month seven in our preliminary  
13 results. But again, this is one of the things that we're  
14 going to be looking at as we review the results, is that  
15 sort of issue of coincidence. So I want to make sure we  
16 fully understand why it's falling earlier in the year and  
17 make sure that we're comfortable with where that lands.

18 VICE CHAIR GUNDA: Okay.

19 So yeah, that's kind of definitely one of the  
20 quick visually.

21 And then you said, the CAISO annual peak, that  
22 the coincidences are changing, right? So can you kind of  
23 explain a little bit about where those changes have come  
24 from? Like what's -- is that historical changes in  
25 historical data? What's the reason we are seeing that,

1 that's such a significant difference in the coincidence?

2 MR. FUGATE: Yeah, so the coincidence in the  
3 early years is coming from our update to the base  
4 consumption profile, so that's what we want to pay  
5 particular attention to and make sure that that is  
6 reasonable.

7 And then as you go further into the forecast  
8 period, the coincidence does increase. That's driven just  
9 primarily by the sort of similar load modifier profiles  
10 being applied to all three TAC areas. So that's really  
11 driving the timing of the peak as you go further into the  
12 forest. But the initial coincidence is coming from the --  
13 or the initial change in coincidence is coming from the  
14 update to the base profiles, and that's what we want to pay  
15 particular attention to over these next couple weeks.

16 VICE CHAIR GUNDA: Thanks Nick.

17 I think I kind of just to reinforce the slide 23,  
18 and really the usefulness of slide 23, just kind of giving  
19 a heads up on the potential winter peak. So that's great  
20 that we continue to update that.

21 So on slide number 22 I understand that you're  
22 comparing the 2022 versus 2040 hour 18. And I see the PV  
23 impacts would be positive. So that is because -- could you  
24 just kind of help me understand?

25 MR. FUGATE: Yes. I was wondering if anyone

1 would notice that.

2 Yes, so that is coming from, as you noted, the  
3 July versus September peak. So in July at that hour 18,  
4 you actually have quite a bit more -- even though you have  
5 less capacity at the start of the forecast, you actually  
6 have more generation than you do on the peak day, hour 18,  
7 which falls in September towards the end of the forecast.

8 VICE CHAIR GUNDA: Got it.

9 Thank you.

10 I guess I think the last question on monthly peak  
11 loads, the distribution that you have for the 2022 versus  
12 2023 results.

13 The green line, which is our new 2023 update,  
14 just specifically kind of -- you mentioned this in your  
15 voiceover, especially the difference in month one and month  
16 twelve, the reduction, could you give a little bit more  
17 flavor on why you think that's happening?

18 MR. FUGATE: Are you referring to the reduction  
19 in our overall peaks for this month, or for the sort of  
20 reduction in evening peaks?

21 VICE CHAIR GUNDA: The monthly peaks.

22 MR. FUGATE: Yes.

23 You know, we're always going to be tend to be a  
24 little bit low just in this process. Some of it comes from  
25 the calibration step as we, you know, sort of stretch and

1 shift the profiles to align with the summer peaks, you  
2 know, to keep generation consistent across the whole year.  
3 The sort of lower load hours get shifted downward a bit.

4 That contributes to it to some extent but, you  
5 know, they're lower than all recent historical values. So  
6 that is also I think something that warrants a little  
7 further investigation.

8 VICE CHAIR GUNDA: Got it.

9 I think I have one process question, but I will  
10 just say, excellent presentation. And Nick, I heard you  
11 say it very loud and clear how much work its been. And  
12 thank you. Thank you for kind of lifting all that work.  
13 And for all those people that are putting all this work on  
14 your shoulders, you know, I apologize for them.

15 MR. FUGATE: That was specifically for you, Vice  
16 Chair.

17 VICE CHAIR GUNDA: Thank you.

18 Just on the piece of -- I think the last piece  
19 is, how well coordinated are we on -- you know, as we're  
20 making these changes on, you know, the implications of new  
21 climate data and all, I remember the question around -- I  
22 forget the word -- it's the correlation of the other data  
23 with the behind-the-meter PV, I'm just kind of forgetting -  
24 - like that we needed to make sure the distribution that we  
25 consider for behind-the-meter PV is consistent with the

1 rest of the distribution, right? There is a weather  
2 correlation there? I know that was a kind of CPUC interest  
3 for a long time.

4 How are we doing on that front?

5 Like what I take away from your slides here early  
6 on in your HLM updates is -- maybe this is something I'll  
7 separately follow up with, but the new simulated ratios on  
8 your slide 13, you kind of discussed how the historical  
9 weather patterns are better correlated now.

10 MR. FUGATE: Right. Right.

11 VICE CHAIR GUNDA: So does that solve the ask  
12 from PUC?

13 MR. FUGATE: I mean, sort of indirectly in the  
14 sense that that is what facilitated this update to our base  
15 profiles, and caused us to, you know, to reevaluate those  
16 profiles and come up with system profiles that behave a  
17 little more in line with what recent history suggests.

18 So yes, to that extent, but there are other  
19 considerations. That's for estimating models and coming up  
20 with that base profile.

21 Then you move into the forecast period. You  
22 know, we had a little bit of discussion just in the earlier  
23 presentation about sort of also introducing variability in  
24 the PV performance and the forecast horizon. And I think  
25 that's of particular significance for -- you know, as we



1 move into kind of developing inputs for stochastic  
2 modeling. But then also I think there is perhaps still  
3 some room to modify our treatment of PV in kind of the  
4 normal hourly forecast as well, to reflect a little more  
5 variability.

6 VICE CHAIR GUNDA: Great, thank you.

7 Heather, just want to plug for you. I need to  
8 step out. I'll be listening in, but I'll be muted for a  
9 little while, so if you could take over from here.

10 Thanks Heather.

11 MS. RAITT: Great.

12 Thank you, Commissioner.

13 Are there any other commissioner questions for  
14 Nick?

15 COMMISSIONER HOUCK: No, I don't have any, but I  
16 appreciate the presentation and the dialogue with the  
17 questions from Vice Chair Gunda.

18 COMMISSIONER SHIROMA: Okay. I have -- and  
19 forgive me, because you folks have done numerous workshops  
20 and so forth -- but the AAFS, I just, on that slide 22, and  
21 this is the 2040 outlook, is the AAFS, is this regulatory -  
22 - remind me, is this regulatory given in terms of what's  
23 required by 2040 for alternative fuel?

24 MR. FUGATE: I wonder if I could ask one of our  
25 electrification folks to chime in on that.

1           VICE CHAIR GUNDA: Commissioner Shiroma, I'm sure  
2 we have -- I'm just like looking to know -- we have Ingrid  
3 on the line.

4           Ingrid if you want to comment.

5           MS. NEUMANN: Yes. Yes. Yes.

6           I was just unmuting.

7           So there is - there are both programmatic  
8 influences and then zero-emission standards. And the zero-  
9 emission standards, which consists of the CARB state  
10 implementation plan, is really what takes over in 2040.

11          So that's most of what we're seeing there.

12          COMMISSIONER SHIROMA: Okay.

13          Thank you.

14          MS. JAVANBAKHT: And just to add to that, CARB's  
15 zero-emission appliance standard is still preliminary.  
16 They just kicked off that rulemaking earlier this year, but  
17 it will go into effect in 2030 if it's finalized.

18          COMMISSIONER SHIROMA: Okay.

19          Thank you. Very insightful. Thank you.

20          MS. RAITT: Thank you, commissioners.

21          So if we're ready, then we'll move on to -- let's  
22 see, we have a few questions from attendees.

23          So Heidi, if you could moderate that, that would  
24 be great.

25          Thank you.

1 MS. JAVANBAKHT: Yeah.

2 So we'll start with hopefully an easy one.

3 Nick, what is the expected date for docketing the  
4 preliminary results? And can you confirm, these are going  
5 to be posted as Excel files?

6 MR. FUGATE: That's a good question. I'll have  
7 to coordinate with Raquel on that, but I'm hoping to get  
8 them up this afternoon after this workshop.

9 MS. JAVANBAKHT: Okay thanks Nick.

10 MR. FUGATE: It'll be either -- I don't know if  
11 we can post -- I currently have them as CSV files. I don't  
12 know if we can docket those, but if not, then yeah I'll  
13 convert them to Excel files.

14 MS. JAVANBAKHT: Okay.

15 And then we've got a question on the  
16 transportation load profiles.

17 Quentin, could you hop on to help with answering  
18 this? And the question is from Charlie Allcock and the  
19 question is, how did the CEC staff develop hourly load  
20 profiles for charging loads for medium- and heavy-duty  
21 vehicles, especially the Class 8 truck drayage use cases  
22 that will electrify first?

23 MR. GEE: Hi. Quentin Gee from Energy  
24 Assessments Division.

25 Thank you, Charlie, for your question.

1           The way that the load shapes work overall is that  
2 we start with input load shapes that as of now are informed  
3 by what we call the AB2127 report. That's the report filed  
4 by our Fuels and Transportation Division that assesses  
5 electric vehicle charging infrastructure needs.

6           That report employed a tool, the results of a  
7 tool, called HEVI-LOAD that we work on with the Lawrence  
8 Berkeley National Laboratory. From there LBNL derived base  
9 input load shapes for us to work with that are informed by  
10 truck usage data and by driving patterns that were  
11 assessed. And from there we have input load shapes. Our  
12 load model does show a responsiveness to time of use rates as  
13 well, and so we incorporate those initial load shapes that  
14 would have a particular shape for, say, port trucks,  
15 drayage trucks, and then adjust those assuming that -- with  
16 the underlying idea that some of the lead operators would  
17 alter their charging behavior to get the benefits of time  
18 of use rates.

19           The result is that approximately, I would say,  
20 you see a little bit of a reduction in demand during peak  
21 hours for drayage trucks, but it's not like it gets cut in  
22 half. It's only about maybe 25 or a little bit more  
23 percent reduction of its peak load. But we do assume that  
24 fleet operators will be somewhat responsive to prices, but  
25 not all.

1 MS. JAVANBAKHT: Thanks, Quentin.

2 That's all from the Q&A, but I did want to loop  
3 back. There were a couple questions on the hourly profiles  
4 for the fuel substitution pieces.

5 And Ingrid, if you could jump on and just say a  
6 little bit about how those hourly profiles are generated.

7 MS. NEUMANN: Sure.

8 We have normalized hourly profiles by end use,  
9 and then we have specific ones that we use for the fuel  
10 substitution for heat pump water heaters, and then for  
11 residential and commercial heat pump HVAC.

12 So for the residential portion of the heat pump  
13 HVAC, we have built profiles from building modeling and all  
14 the different -- 16 different building climate zones and  
15 have weighted those for residential. And we're working on  
16 doing that for commercial, but we haven't incorporated  
17 those kind of updated heat pump HVAC load profiles for  
18 commercial yet.

19 MS. JAVANBAKHT: Thanks, Ingrid.

20 Alright. Heather, I'm handing it back to you.  
21 That's it for the Q&A.

22 Heather, you're muted.

23 MS. RAITT: Thanks.

24 Oh my gosh. Okay.

25 Well, I said thank you Heidi, and Nick for your

1 presentation, and Ingrid and Quentin for jumping in there  
2 and helping with the questions.

3           So we're going to move on to the public comment  
4 period, and so if anyone wanted to make a public comment,  
5 we'll limit it to three minutes per person.

6           Please go ahead and use the "raise hand" function  
7 on Zoom to let us know that you'd like to make comments.  
8 And if you're on the phone, you press star nine and that'll  
9 let us know that you want to make comments.

10           And I am not currently seeing any, but we'll give  
11 it a moment.

12           So again, just press "raise hand" on Zoom. And  
13 then if you're joining by phone, you press star nine.

14           Alright. Well I am not seeing any comments, so  
15 we'll just move on.

16           Just to wrap up again, we will be having the  
17 results. We'll get those posted today or if not today  
18 tomorrow, and moving towards adopting the forecast at that  
19 January 24th business meeting and, and then we'll be  
20 incorporating the results into the final IEPR and we'll be  
21 putting that out probably early January -- excuse me, early  
22 February, for adoption of the February business meeting  
23 with the Energy Commission. And written comments, if folks  
24 want to make written comments, they are welcome, and they  
25 are due on December 29th, and we welcome any input. And

1 before we close out, Commissioner Shiroma or Commissioner  
2 Houck, would you like to make some final remarks?

3 Thank you for being here.

4 COMMISSIONER SHIROMA: Alright. Sure.

5 Thank you for the opportunity to listen to the  
6 very informative presentations and discussion. I thought  
7 the questions were good ones in the Q&A. I appreciate the  
8 answers given.

9 And again I appreciate the enormity of the work  
10 that is entailed in putting this together.

11 And thank you Heather, and to the entire IEPR  
12 team. And all best wishes for a wonderful holiday for  
13 everyone.

14 Thank you.

15 COMMISSIONER HOUCK: And I'll just echo  
16 Commissioner Shiroma's comments.

17 Just wanted to really thank you Heather, the  
18 staff at the CEC, Vice Chair Gunda, Commissioner Monahan,  
19 for all of the work on this. This is just really critical  
20 work that's just -- and the coordination between the two  
21 agencies is just really important to make sure we're  
22 getting things right.

23 And just appreciate being able to be part of the  
24 workshop today and wish everyone happy holidays.

25 And again, thank you.

1 MS. RAITT: Wonderful.

2 Well thank you both again so much. Really  
3 appreciate your time and being here today. And so thank  
4 you to everybody who joined remotely, and to our  
5 presenters.

6 And I think that is it for this workshop, and I  
7 hope everybody enjoys some nice holiday time. Take care.

8 (The workshop adjourned at 2:30 p.m.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25




## CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of March, 2024.



ELISE HICKS, IAPRT CERT\*\*2176

## CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

March 7, 2022