

**DOCKETED**

<b>Docket Number:</b>	17-MISC-01
<b>Project Title:</b>	California Offshore Renewable Energy
<b>TN #:</b>	255628
<b>Document Title:</b>	March 29, 2024 AB 525 Workshop 2 of 2 Transcript
<b>Description:</b>	AB 525: California Offshore Wind Development Workshop 2 of 2 Remote Via ZOOM Transcript
<b>Filer:</b>	susan fleming
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	4/11/2024 12:02:11 PM
<b>Docketed Date:</b>	4/11/2024

CALIFORNIA ENERGY COMMISSION

In the matter of:

	)	
California Offshore Wind	)	Docket No. 17-MISC-01
Development	)	
_____	)	

ASSEMBLY BILL 525:

CALIFORNIA OFFSHORE WIND DEVELOPMENT

REMOTE VIA ZOOM

FRIDAY, MARCH 29, 2024

10:00 A.M.

Reported by:

Martha Nelson

APPEARANCESCOMMISSIONER

Siva Gunda, Vice Chair

CEC STAFF

Jim Bartridge, Siting, Transmission, and Environmental  
Protection Division

Elizabeth Huber, Siting, Transmission, and Environmental  
Protection Division

Danielle Mullany, Siting, Transmission, and Environmental  
Protection Division

Eli Harland, Siting, Transmission, and Environmental  
Protection Division

Lorelei Walker, Siting, Transmission, and Environmental  
Protection Division

Jack Bastida, I.T.

ALSO PRESENT

John Reynolds, CPUC Commissioner

Matthew Baker, CPUC Commissioner

Neil Millar, CAISO, Vice President, Infrastructure and  
Operations Planning

PRESENTERS

Jennifer Lucchesi, California State Lands Commission

Abigail Ryder, Bureau of Ocean Energy Management

Matthew Blazek, Bureau of Ocean Energy Management

APPEARANCESALSO PRESENT (cont'd.)

Holly Wyer, California Coastal Commission

Cyndi Dawson, California Department of Fish and Wildlife

Phillip Crader, State Water Resources Control Board

Arne Jacobson, Schatz Energy Research Center

Jim Zoellick, Schatz Energy Research Center

Jeff Billinton, California Independent System Operator

PUBLIC COMMENT

Sheri Hafer, Morro Bay Commercial Fishermen's Organization

Theral Golden

Andrea Lueker, REACT Alliance

Cathie Buchanan, Bear River Band of the Rohnerville  
Rancheria, California

Molly Croll, American Clean Power Association

Dan Jacobson, Environment California

John Reed, Channel Wind

Ken Bates, California Fishermen's Resiliency Association

Pauline Seales, Santa Cruz Climate Action Network

Azsha Hudson, Environmental Defense Center

Steve Scheiblaue

Nancy Kirshner-Rodriguez, Oceantic Network

Sarah Xu, Brightline Defense

APPEARANCESPUBLIC COMMENT (cont'd.)

Julia Dowell, Sierra Club

Matt Simmons, Environmental Protection Information Center

Alison Hahm, Natural Resources Defense Council

Mike Okoniewski, West Coast Pelagic Conservation Group

Alan Alward

INDEX		<u>PAGE</u>
1.	Housekeeping	6
2.	Welcome	7
3.	CEC Staff Overview of Strategic Plan	14
4.	Sea Space for Offshore Wind Development	27
	<ul style="list-style-type: none"> <li>• California Energy Commission overview of Chapter 5: Sea Space for Offshore Wind Development</li> <li>• Bureau of Ocean Energy Management Presentation</li> </ul>	
5.	General Comment Period	81
6.	Transmission Technologies, Planning, and Interconnection	112
	<ul style="list-style-type: none"> <li>• California Energy Commission overview of Chapter 8: Transmission Technology and Alternative Assessment, and Chapter 9: Transmission Planning and Interconnection</li> <li>• Schatz Energy Research Center Presentation</li> <li>• California Independent System Operator Presentation</li> </ul>	
7.	General Comment Period	146
8.	Adjournment	162



1 Chapter 5 of the Strategic Plan, followed by a presentation  
2 for the Bureau of Ocean Energy Management. Thereafter,  
3 we'll discuss offshore wind permitting from Chapter 10 with  
4 presentations on agency roles from the California State  
5 Lands Commission, the California Coastal Commission, the  
6 California Department of Fish and Wildlife, and the State  
7 Water Resources Control Board. We'll close the morning  
8 with public comments and then a lunch break.

9           And then after lunch in our afternoon session --  
10 next slide, there it is -- we'll discuss transmission  
11 technologies and planning from Chapter 8 and 9 of the  
12 Strategic Plan. We'll also have presentations from the  
13 Schatz Energy Research Center on the Northern California  
14 and Southern Oregon Offshore Wind Transmission Study, and  
15 from the California Independent System Operator on  
16 transmission planning.

17           Next slide, please.

18           Before we begin, I'll turn it over to Vice Chair  
19 Gunda for some opening comments, followed by any brief  
20 opening comments and introductions from our state agency  
21 partners.

22           Next slide.

23           Go ahead, Commissioner.

24           VICE CHAIR GUNDA: Thank you, Jim.

25           I just want to begin by welcoming everybody who's

1 joining us today to this workshop. Your time is extremely  
2 valuable to all of us as we continue our work on offshore  
3 wind.

4 I also want to thank our staff at CEC, Jim, who  
5 is moderating today, but also Melissa Jones, Rachel  
6 MacDonald, Elizabeth Huber, who oversees the Division.

7 I'm here in place of the chair today. Chair's in  
8 travel, Chair Hochschild, but we do have his Chief of Staff  
9 Kat Robinson on the call. And also want to commend Kat for  
10 her contributions in helping complete the Strategic Plan.

11 As it was probably mentioned last week, the  
12 development of the draft Strategic Plan was a multi-agency  
13 effort, representing an all government approach to making  
14 offshore wind a reality in California. Just want to  
15 acknowledge and thank the State Lands Commission, Coastal  
16 Commission, Department of Fish and Wildlife, Ocean  
17 Protection Council, California Labor and Workforce  
18 Development Agency, and California Public Utilities  
19 Commission. And we always look to our quasi-state agency,  
20 our entity, Neil, who is here with CAISO, as an important  
21 part of our planning exercise.

22 To just reiterate a couple of points, California,  
23 as a state, has committed to 100 percent zero-carbon  
24 electricity by 2045 to really underpin our climate  
25 strategy, which is broadly based on electrification of the

1 large swaths of the economy. And this will require a  
2 historic build-out of renewable resources over the next 20  
3 years.

4           Achieving 100 percent clean energy goals will be  
5 done most cost-effectively if we can have geographic and  
6 technologically diverse resources. That was the insight  
7 and takeaway from the first SB 100 analysis, and we  
8 continue to update that to look at the contribution and  
9 value of these diverse resources.

10           Offshore wind was recognized as a good complement  
11 to land-based wind and land-based solar because of its  
12 generation profile and how it can complement, especially in  
13 terms of net peak period and its ability to potentially  
14 displace the thermal resources that we rely on today.

15           Offshore wind, like every other resource that we  
16 expect to plan and develop in California, will have  
17 impacts, both benefits and impacts. And, you know, the  
18 cost and impacts of inaction is also seen to be much higher  
19 than the cost of moving forward with the best ability to  
20 move forward with the resources we need.

21           Some of the things we are beginning to see,  
22 whether it's fires, floods, acidification of our oceans,  
23 impact of public health, air quality, we are beginning to  
24 see them already. And, you know, moving swiftly towards  
25 our zero-carbon resources is extremely important and vital

1 not only for California, but the globe as a whole and our  
2 ability to help foster a global transition.

3           So in closing, again, I want to thank everybody  
4 who's here. I want to commend our interagency staff and  
5 other principals who are available on the dais to make  
6 brief comments.

7           With that, Jim, I'll pass to Commissioner  
8 Reynolds.

9           COMMISSIONER REYNOLDS: Thank you, Vice Chair  
10 Gunda. It's wonderful to be here with you this morning on  
11 the dais.

12           And I want to offer, first off, my appreciation  
13 and commendation to the CEC for hosting this forum and for  
14 all the thoughtful work in the Strategic Plan for Offshore  
15 Wind. I strongly echo your comments and I would double-  
16 click on the recognition that offshore wind as a resource  
17 is particularly exciting because it balances really well  
18 with our tremendous onshore wind and solar resources that  
19 we've been able to successfully develop.

20           But as I think we'll talk about further today and  
21 as the report discusses more broadly, there are real  
22 challenges in developing offshore wind, challenges that we  
23 will have to tackle diligently and collaboratively. And as  
24 with any resource that is going to help us get to our long-  
25 term goals, we are going to have to find solutions to

1 problems that maybe we have not addressed in the past since  
2 we're dealing with the new technology. That is inherently  
3 the case.

4 But we're also looking at a tremendous scale of  
5 resource development. And one of the tremendous advantages  
6 that I think offshore wind presents is that it doesn't have  
7 the same land use impacts as many of the onshore resources  
8 we've historically developed. As we will talk about this  
9 afternoon, there will be onshore components to offshore  
10 wind projects. And there are, of course, environmental and  
11 sea space impacts that need to be mitigated with the  
12 development of this resource.

13 So I look forward to this conversation, really  
14 appreciate being here. And thanks again to the CEC team  
15 for all the effort and all the leadership that has been  
16 displayed by the CEC and state partners.

17 VICE CHAIR GUNDA: Thank you, Commissioner  
18 Reynolds.

19 Commissioner Baker?

20 COMMISSIONER BAKER: Thank you. Thank you. I am  
21 Matt Baker, Commissioner at the Public Utilities  
22 Commission. I'm really happy to be here to share this with  
23 my colleagues, especially Commissioner Reynolds.

24 I want to thank the Energy Commission for today's  
25 workshop and its work on the draft plan. I'm really

1 looking forward to the discussion.

2 Thank you.

3 VICE CHAIR GUNDA: Thank you, Commissioner Baker,  
4 and welcome to the Commission team. Thank you.

5 I'm going to go to Neil Millar from CAISO.

6 VICE PRESIDENT MILLAR: Good morning, Vice Chair  
7 Gunda. Thank you. I do just want to echo the comments  
8 you've already heard about our appreciation for the work to  
9 this point and for being included in today's session.

10 I should mention, as well, this is particularly  
11 timely for us as we will be -- the ISO will be issuing our  
12 draft Transmission Plan on Monday. That will actually  
13 include the first phase of development seeking to access  
14 North Coast offshore wind.

15 At the same time, Jeff Billinton, our Director of  
16 Transmission Infrastructure Planning is speaking later  
17 today on transmission. He will be a bit constrained about  
18 what he can talk about in plan until it's actually  
19 released, but I'm sure he'll be able to give an excellent  
20 overview of the transmission challenges.

21 So we're really looking forward to the day and  
22 thank you very much.

23 VICE CHAIR GUNDA: Thank you so much, Neil.

24 I know we have Jennifer Lucchesi, so go ahead,  
25 please.

1 MS. LUCCHESI: Good morning, everyone. My name  
2 is Jennifer Lucchesi. I'm the Executive Officer of the  
3 California State Lands Commission.

4 I also want to align myself with the comments  
5 already made and the gratitude expressed, and I look  
6 forward to the discussion and learning from the comments  
7 made later today.

8 Thank you so much.

9 VICE CHAIR GUNDA: Thank you so much, Jennifer.

10 I don't think there's any other right now.

11 I do want to recognize that Chair Hochschild has  
12 called in and he's listening. Thank you, Chair.

13 And I think I just want to close by saying,  
14 before I pass it to Jim, you know, we as a state team is  
15 absolutely committed in developing this resource and  
16 carefully monitoring the impacts and learning and adapting  
17 as we move forward. It's extremely important.

18 And also, I think we'll continue to consult with  
19 all important stakeholders, but also tribal nations,  
20 fisheries, community groups to ensure that the feedback is  
21 well understood in the development of this critical  
22 resource.

23 So with that, looking forward, the rest of the  
24 workshop back to you, Jim. Thank you.

25 MR. BARTRIDGE: Thank you, Vice Chair, and thank

1 you all for your remarks.

2 I'll reiterate, AB 525 was an extensive effort  
3 that included participation from multiple state agencies,  
4 and we certainly appreciate all of their contributions to  
5 date and going forward.

6 So next slide, please.

7 Okay, and with that, I'll turn it over to  
8 Elizabeth Huber, Director of the CEC's Siting,  
9 Transmission, Environmental Protection Division for an  
10 overview of the draft AB 525 Offshore Wind Strategic Plan.

11 Next slide, please.

12 MS. HUBER: Thanks Jim, and good morning everyone  
13 and welcome to the California Energy Commission's workshop  
14 on offshore wind energy. We appreciate all of you being  
15 here today because this public process would not work if  
16 you weren't engaged in participating and sharing your  
17 input, thoughts, and recommendations back to us.

18 So with that, we will be presenting the chapters  
19 within the draft Assembly Bill 525 Offshore Wind Strategic  
20 Plan and updates on those ongoing efforts, next steps, and  
21 additional public input opportunities as the CEC works to  
22 meet statutory requirements of AB 525 toward a safe and  
23 reliable offshore wind energy in and federal waters  
24 offshore California.

25 For those of you who do not know me, my name is

1 Elizabeth Huber and I am the Director of the CEC's Siting,  
2 Transmission, and Environmental Protection Division. This  
3 team is assigned to work on offshore wind and those that  
4 will present today are part of the STEP Division's Climate  
5 Initiatives Branch. Their efforts in coordination with  
6 several state agencies have led to the draft AB 525  
7 Strategic Plan being published on January 19th, and it sets  
8 the analytical framework for offshore wind energy  
9 development off the California coast.

10 Next slide, please.

11 In enacting AB 525, the legislature found and  
12 declared many things as they relate to offshore wind. The  
13 findings shown on this slide are just some of the findings  
14 underlining the statutes of AB 525, including providing  
15 economic environmental benefits, advancing progress towards  
16 California's renewable energy and climate goals, and  
17 increasing the diversity and lowering overall costs of the  
18 state's resource portfolio, among many other things.

19 Next slide, please.

20 AB 525 tasks the CEC, in coordination with an  
21 array of specified local, state, and federal partners,  
22 tribal governments, and with input from stakeholders to  
23 develop a Strategic Plan for offshore wind development.

24 The legislation further identifies priority  
25 considerations in developing that Strategic Plan. The

1 legislation states that,

2 "The Strategic Plan shall emphasize and prioritize  
3 near-term actions, particularly related to port  
4 retrofits and investment, the workforce, and to  
5 accommodate the probable immediate needs for jobs and  
6 economic development."

7 In considering port retrofits, the Strategic Plan  
8 is supposed to strive for compatibility with our harbor  
9 tenants and ocean users to ensure that the local benefits  
10 related to offshore wind energy construction complement  
11 other local industries.

12 The Strategic Plan emphasizes and prioritizes  
13 actions that will improve port infrastructure and support  
14 land-based work for the local workforce. And the  
15 development of the Strategic Plan regarding workforce  
16 development includes consultation with representatives of  
17 key labor organizations, apprenticeship programs, and other  
18 academia opportunities that would involve the dispatching  
19 and training of a construction workforce.

20 The statutory language of AB 205 requires a  
21 Strategic Plan shall also include five chapters. So at  
22 minimum, you will find in the draft Strategic Plan the  
23 identification of suitable sea space to meet our 2045 wind  
24 goals of 25 gigawatts, the development of a plan for port  
25 infrastructure and workforce development, an assessment of

1 transmission needs to meet overall offshore wind goals, and  
2 an establishment of a coordinated and efficient permitting  
3 process. And finally, identification of the potential  
4 impacts and how we're going to mitigate and minimize those  
5 impacts through strategies on coastal resources, fisheries,  
6 Native American indigenous peoples, our national defense,  
7 and strategies for addressing all of them.

8           Next slide, please.

9           In addition to developing the Strategic Plan, AB  
10 525 included a number of interim work products that will  
11 inform the 2023 Plan. These include evaluating and  
12 quantifying the maximum feasible capacity of offshore wind  
13 to achieve reliable rate payer employment and  
14 decarbonization benefits and establishing the offshore wind  
15 goals for 2030 and 2045. The work resulted in goals of 2  
16 to 5 gigawatts of offshore wind in 2030 and 25 gigawatts in  
17 2045.

18           The legislation also required the CEC to complete  
19 and submit to CNRA and the California legislature a  
20 preliminary assessment of economic benefits of offshore  
21 wind as they relate to seaport investments and workforce  
22 development needs and standards, as well as a permitting  
23 roadmap, which were all presented earlier this year -- or I  
24 should say in 2023, oh my goodness, we're in 2024 already.

25           And then finally, AB 525 also prioritized

1 engagement and made it clear that all stakeholders and  
2 tribal governments should be invited to participate in the  
3 process. The legislation defines stakeholders, stating  
4 that,

5 "For purposes of AB 525, the term stakeholders  
6 includes, but not limited to, fishery groups, labor  
7 unions, industry, environmental and environmental  
8 justice organizations, and the ocean users."

9 These interim reports are located on the CEC  
10 website, and the link is on the bottom left of this slide.

11 Next slide, please.

12 As been articulated from the Vice Chair and from  
13 Jim and others in the first workshop and today's workshop  
14 already, the CEC consulted and coordinated with an array of  
15 state agencies and would not be able to have posted a draft  
16 Strategic Plan without their collaboration.

17 The first is the State Lands Commission. They  
18 are the CEQA lead agency for environmental review and  
19 permitting. The Ocean Protection Council, among other  
20 things, leads on environmental monitoring for the state.  
21 The California Coastal Commission, who executes the coastal  
22 planning and regulatory activities for the Federal Coastal  
23 Zone Management Act and State Coastal Act. The Department  
24 of Fish and Wildlife, who among other provisions,  
25 implements the California a threatened and endangered

1 species impact and mitigation requirements. And regarding  
2 transmission infrastructure and technology, the CEC  
3 consulted with the California Public Utilities Commission  
4 and the California Independent System Operator.

5 With regards to the plan to develop California's  
6 workforce, we consulted with the Labor and Workforce  
7 Development Agency and the Workforce Development Board, the  
8 Department of Industrialization and the Employment  
9 Development Department, to name a few.

10 The CEC, in collaboration with these multiple  
11 state agencies, held more than 200 meetings, workshops,  
12 tribal listening sessions and intergovernmental  
13 roundtables, biweekly and monthly working group meetings,  
14 and one-on-one conversations to develop the Strategic Plan.

15 Next slide, please.

16 So the structure of the Strategic Plan is laid  
17 out in three volumes. Volume I is an overview of the  
18 actual Strategic Plan. It's kind of the high-level  
19 executive summary if you will. Volume II is the full  
20 comprehensive Strategic Plan. And Volume III are the  
21 technical appendices. So we tried to put together all of  
22 the reference material studies and work that was used to  
23 develop the Strategic Plan and that's found in appendices  
24 three. The Main Report, as I said, addresses the 525  
25 required chapters, as well as the additional chapters on

1 the history of offshore wind development, floating offshore  
2 wind technology, and the industry that supports it, and a  
3 section on impacts and strategies to mitigate those impacts  
4 to our underserved communities in California. In the  
5 following slides, I will provide a short highlight of each  
6 chapter.

7           Next slide, please.

8           Chapter 3 addresses economic and workforce  
9 benefits. At a high level, offshore wind presents the  
10 opportunity to realize economic and workforce benefits and  
11 attract investment capital to California. Benefit key  
12 takeaways include direct, indirect, and induced economic  
13 benefits that are expected from activities like  
14 construction and maintenance, increased demand regionally  
15 for components, creation of small businesses and expansion  
16 of existing businesses, and ultimately increasing spending  
17 back into the local community, developing and preserving a  
18 local skilled and trained workforce, and long-term job  
19 creation, as shown in this slide, by job and sector  
20 specific to supply chain, construction, and operations and  
21 maintenance.

22           Ports and waterfront facilities will be an  
23 important driver of potential economic benefits and are  
24 essential to developing a local supply chain that is  
25 estimated to provide the majority of workforce benefits.

1           And of course, community benefits agreements are  
2 important tools to ensure that our California Native  
3 Americans and underserved communities are involved early  
4 and often in the state and federal permitting processes and  
5 receive benefits that are truly realized.

6           Next slide, please.

7           So Chapter 4 addresses potential impacts of  
8 offshore wind on coastal resources, fisheries, Native  
9 American and indigenous peoples, and our national defense  
10 and strategies for addressing those impacts. Additionally,  
11 the chapter discusses impacts to underserved communities.

12           While the chapter evaluates numerous potential  
13 impacts for various tribal governments and local groups,  
14 this image is a good example of potential impact and  
15 mitigation strategies specific to marine life, which is a  
16 concern for all of us.

17           I encourage all of you to go to our website. We  
18 will, throughout today's workshop, we will be posting the  
19 link and that is where you will find more details on this  
20 chapter as presented in part one of this two-part workshop  
21 that was held last Wednesday.

22           Next slide, please.

23           Potential impacts and strategies updated. So  
24 this chapter goes into greater detail about potential  
25 impacts and strategies. During last week's workshop, there

1 was an extensive discussion of impacts covered by the  
2 specific lead agencies regarding their topic areas. We  
3 also received comments throughout the workshop from  
4 California's native tribes, fisheries community  
5 representatives and other concerned stakeholders.

6           Again, I want to remind you to please see our  
7 event page for the presentation from last week.

8           Next slide, please.

9           Today, you'll hear more, but AB 525 Chapter 5 on  
10 sea space required the CEC to work with specific agency  
11 stakeholders, state, local, and federal agencies, and the  
12 offshore wind industry to identify suitable sea space for  
13 wind energy areas in federal waters sufficient to  
14 accommodate the offshore wind goals for California.

15           Key takeaways related to sea space are that the  
16 CEC identified six areas in federal waters that are  
17 sufficient sea space to meet the 2045 25 gigawatt goal. I  
18 want to note that up to 50 percent of the sea space may not  
19 be suitable due to conflicts, which is why we set the goal  
20 at 25 in the areas that are suitable. And I want to note  
21 that the development needs to occur at least 20 miles  
22 offshore to avoid any such conflicts.

23           Ocean use, species, and ecosystem conflicts will  
24 require additional evaluation to determine the long-term  
25 suitability. And again, Danielle Mullaney from the STEP

1 Division will be discussing this further later this  
2 morning.

3 Chapter 6, Port and Waterfront Infrastructure  
4 chapter, addressed port needs and costs, port sites by  
5 activity and environmental considerations and challenges.  
6 Key takeaways from that -- next slide, please -- key  
7 takeaways from the chapter include the Humboldt Bay Harbor  
8 Recreation Conservation District which received \$425  
9 million grant for the construction and maintenance of  
10 offshore wind infrastructure provided by the U.S.  
11 Department of Transportation. and this was in addition to  
12 a \$10.5 million California grant that was initiated by the  
13 CEC.

14 Again, key takeaways are listed on the slide  
15 there for you, but again, more detail is on our March 20th  
16 workshop event page, including presentations and the actual  
17 recording.

18 Next slide, please.

19 Workforce development. Chapter seven on  
20 Workforce Development addresses workforce needs and  
21 standards, workforce training programs and apprenticeships,  
22 and various types of jobs that are expected to support  
23 offshore wind development.

24 Next slide, please.

25 Key takeaways from this chapter includes most

1 needed near-term skills, such as in the trades, technician,  
2 and construction sectors. Long-term jobs are in the supply  
3 chain and manufacturing sector. And we need a workforce  
4 with the right skill sets that require specialized training  
5 for different types of workers.

6 Recommendations included identifying workforce  
7 needs, establishing equitable hiring standards, funding  
8 training and education, and recruiting entry-level and  
9 experienced workers. We also need to coordinate to create  
10 career opportunities, workforce training, and economic  
11 development benefits. And we also need to support project  
12 labor agreements that provide local communities and tribal  
13 governments with meaningful economic benefits.

14 Again, for more detail, go back to our March 20th  
15 workshop event page.

16 Next slide, please.

17 AB 525 also required the CEC to assess  
18 transmission investments and upgrades to support the 2030  
19 and 2045 offshore wind planning goals.

20 MR. BARTRIDGE: One more slide, please.

21 MS. HUBER: And that was in consult -- thank you,  
22 Jim -- in consultation with the CPUC and California ISO.

23 Chapter 8 covers the Transmission Technology and  
24 Alternative Assessments and discusses the transmission  
25 infrastructure needed to bring the generation to shore,

1 including existing and emerging transmission technology and  
2 interconnection.

3 Key takeaways from this chapter include,  
4 transmission technology is still emerging, including  
5 dynamic and higher capacity cables and floating  
6 substations. We also need large investments to deliver  
7 electricity to local communities and the larger grid.  
8 Potential transmission pathways for the North Coast will  
9 require additional detailed corridor planning. On our  
10 staff, Lorelei Walker will be going into this a little  
11 later in the workshop.

12 Next slide, please.

13 Chapter 9 addresses transmission planning  
14 processes, corridor planning, and interconnection issues,  
15 including process enhancements.

16 Key takeaways from this chapter include proactive  
17 planning. And innovative interconnection approaches will  
18 be needed for timely transmission development. We need to  
19 landscape level planning for transmission corridors that  
20 can provide a smoother path for transmission projects from  
21 planning to permitting. And we need to continue assessing  
22 transmission needs for host communities and other rural  
23 communities along transmission routes that can help address  
24 reliability and equity issues. Again, Lorelei will discuss  
25 that in her presentation later this afternoon.

1           Next slide, please.

2           So Chapter 10 provides an overview of the  
3 permitting roadmap, which identifies several approaches for  
4 coordinated or consolidated permitting of offshore wind  
5 projects.

6           Key takeaways from this chapter include the  
7 permitting process for any large infrastructure, such as  
8 offshore wind, is complex and involves numerous state,  
9 federal, and local agencies. To condense or streamline the  
10 permitting for large renewable projects in the California  
11 desert, a coordinated multi-agency permitting approach was  
12 developed. The permitting approach created the Renewable  
13 Energy Action Team, known as the REAT, and a Renewable  
14 Energy Policy Group by principals in the state of  
15 California, representing multiple agencies to ensure proper  
16 coordination for permitting. Eli Harland and the STEP  
17 Division will be discussing the permitting chapter in  
18 greater detail this morning.

19           And then I want to conclude again by showing the  
20 links to our AB -- next slide, please -- I want to conclude  
21 by sharing the links to our AB 525 Strategic Plan webpage,  
22 where you can find the draft Strategic Plan, the multiple  
23 consultant reports led by our partner agencies and our  
24 interim reports that I mentioned earlier, as well as all  
25 the workshop event information from last week and today's

1 workshop.

2           Again, within the CEC's workshop notice, there is  
3 information about public participation, including signing  
4 up for the LISTSERV, as well as links to file public  
5 comments. You are also can go directly to the comment link  
6 provided and file comments there as well.

7           Again, all comments for both workshops and draft  
8 Strategic Plans are due by close of business on April 22nd.

9           Again, thank you all for being here today and  
10 look forward to the conversations as we delve more into our  
11 permitting, sea space and transmission work that's been  
12 done over the last 18 months.

13           And this concludes my presentation, and I'll pass  
14 it back to Jim.

15           MR. BARTRIDGE: Great. Thank you, Elizabeth.

16           And next, we'll begin our presentations on sea  
17 space, first, with a presentation from Danielle Mullaney  
18 from the Energy Commission on Chapter 5, Sea space for  
19 Offshore Wind Development.

20           Danielle? Thank you, Jim.

21           MS. MULLANY: Good morning. I'm Danielle with  
22 the Energy Commission Siting, Transmission, and  
23 Environmental Protection Division, where my role is sea  
24 space identification for offshore wind energy planning.  
25 And today I'm going to give a brief overview of the sea

1 space identification process and results as required by AB  
2 525.

3 Next slide, please.

4 I want to start by outlining what AB 525 asks us  
5 to do in regards to sea space identification, and that is  
6 to first identify the sea space established by BOEM in its  
7 2018 Call for Nominations to achieve 2 to 5 gigawatts by  
8 2030, and second, to identify sea space for a future phase  
9 of offshore wind leasing to achieve 25 gigawatts by 2045.

10 AB 525 asks us to look for areas with the best  
11 wind resource and least conflicts to existing ocean users  
12 and marine resources, and to assess the potential impacts  
13 and identify strategies to mitigate those impacts.

14 So the map on the right is showing one of our  
15 starting point maps which is finding where the best wind  
16 is. You can see the darker red is higher annual average  
17 wind speed and the lower -- and the yellow color is lower  
18 wind speed.

19 So you can see the area off the North Coast of  
20 California has some of the best wind and that's averaging  
21 about ten meters per second or greater. Also shown on the  
22 map is the current Humboldt and Morro Bay wind energy areas  
23 in blue, and the designated National Marine Sanctuaries are  
24 displayed in green. And the sanctuaries are marine  
25 protected areas and they are not in BOEM's jurisdiction, to

1 be least, so these areas were removed from the sea space  
2 analysis. So this map was really a starting point for  
3 identifying sea space.

4 Next slide, please.

5 This slide is to give a high-level overview of  
6 the basic process that was followed for Sea space  
7 identification. And this process can be broken down into  
8 three steps.

9 First, identify wind potential and technical  
10 characteristics where deployment would be feasible. This  
11 would be looking at data on wind speed, wind consistency,  
12 ocean bottom depth, ocean bottom slope, and distance to  
13 transmission and ports.

14 And then once those areas are identified, the  
15 second step would be to screen those areas for potential  
16 conflicts. And this would be looking at data on ocean uses  
17 such as commercial fishing, commercial shipping, military  
18 operations, and cultural and historical resources, as well  
19 as looking at marine resource data such as benthic  
20 habitats, marine mammals, marine birds, and marine turtles.

21 And finally, the third step is to summarize these  
22 results, which is what we have done in the Strategic Plan  
23 report. So the report has more details on this process and  
24 also lists all the data sets used throughout this analysis.

25 Next slide.

1           So as I was explaining previously, the first step  
2 in our process resulted in these sea space areas that  
3 you're seeing in gray on the map on the right. And so this  
4 map is showing the AB 525 suitable sea space overlaid on  
5 the sea space areas of interest, which are denoted by large  
6 hatched ovals. And also displayed is the Humboldt and  
7 Morro Bay lease areas, transmission lines, and electric  
8 substations and it's closest to the sea space areas.

9           It's important to note that these six sea space  
10 areas were formed exclusively from four constraints which  
11 affects technology deployment, and those constraints are an  
12 annual average wind speed of seven meters per second or  
13 greater, average water depth of 2,600 meters or less, ocean  
14 bottom slope of ten percent or less, and a minimum distance  
15 of 20 miles from shore.

16           And these areas were not shaped in response to  
17 conflict screening other than siting them 20 miles from  
18 shore. And this distance was identified as the minimum  
19 distance for sea space because throughout spatial data  
20 analysis we found that concentrations of existing ocean use  
21 and marine biological resources occur nearer to shore. So  
22 ocean use activity including commercial and recreational  
23 fishing, vessel traffic, and cultural resources, those are  
24 all highest in waters within 20 miles from shore. And so  
25 sea space identified 20 miles from shore is considered

1 lower conflict or least conflict for shore wind  
2 development. However, there are still coastal resource and  
3 ocean use conflicts to consider. And my next slides will  
4 give a brief overview of some of these potential conflicts.

5 Next slide, please.

6 So commercial fisheries, the commercial fishing  
7 industry an existing ocean user that may be impacted by  
8 offshore wind development. Fishermen in the North and  
9 Central Coast provided input on species distribution to  
10 help inform sea space identification. The fishing areas  
11 mapped by the fishermen represent where fishing for that  
12 species would occur. And the map on the left shows North  
13 Coast fisheries data. The map on the right shows Central  
14 Coast fisheries data.

15 These maps provide a historically informed  
16 snapshot of the area's fishing grounds. And both maps  
17 demonstrate that higher fishing activity takes place closer  
18 to shore. So by identifying sea space further from shore,  
19 most of the fisheries in the North and Central Coast are  
20 voided. However, the fisheries that operate closer to  
21 shore may still be impacted by the transmission cables  
22 coming to shore and the increased vessel traffic associated  
23 with offshore wind energy.

24 Next slide.

25 The commercial shipping industry was not listed

1 as a stakeholder in AB 525, but analysis of ocean use data  
2 shows commercial shipping as a large ocean user, and  
3 therefore it's an important consideration.

4 This map displays the AB 525 sea space with the  
5 U.S. Coast Guard proposed shipping lanes overlaid in yellow  
6 from the Pacific Coast Port Access Route Study, also  
7 referred to as PACPARS. The proposed shipping lanes are 15  
8 nautical miles wide and pass through the middle of the  
9 largest sea space areas of Humboldt and Mendocino counties.  
10 The proposed fairways occupy a significant amount of sea  
11 space, so further collaboration and discussion are needed  
12 between the shipping industry and government.

13 Next slide, please.

14 This is a map resulting from the 2018 call for  
15 information by BOEM that designates areas of DoD military  
16 activity off the California coast to determine potential  
17 compatibility with offshore wind energy development. The  
18 yellow area is designated as site-specific stipulations,  
19 which means DOD may recommend additional measures, but does  
20 not presently deem offshore wind to be incompatible with  
21 its options.

22 The salmon colored area towards the south is  
23 designated as incompatible with wind energy development due  
24 to the wide array of critical DoD activities taking place.  
25 So the area south of San Francisco Bay is heavily utilized

1 by DoD, making sea space off the central and southern  
2 coasts of California likely to be in conflict with DoD  
3 military activity. And these areas will need to go through  
4 a review process by DoD to determine compatibility.

5 Next slide, please.

6 This slide is showing AB 525 sea space in gray  
7 with the benthic habitats and protected areas off the North  
8 Coast and Central Coast of California. Benthic habitat  
9 refers to seafloor habitat such as corals and sponges.

10 Both maps display spatial data related to models predicting  
11 the distributions of deep sea corals and sponges offshore  
12 of the West Coast. And these maps show a higher number of  
13 coral species have high habitat suitability within the sea  
14 space areas, particularly off of Del Norte County. Further  
15 data and information is needed to better map these benthic  
16 habitats on a finer scale.

17 Also shown on this map is the Pacific groundfish  
18 protected areas. These are areas designated by NOAA and  
19 represent important biological areas that should be taken  
20 into consideration when siting in shoreland infrastructure  
21 since they are necessary to the species for important  
22 biological functions.

23 Next slide, please.

24 This is a map of marine mammal occurrence off of  
25 the California coast, where the darker green color

1 indicates there is higher marine mammal presence, and the  
2 yellow color indicates lower marine mammal presence. And  
3 this data is from the California Offshore Wind Energy  
4 Modeling Platform, which is a publicly-available set of  
5 spatial models to assess information on offshore wind  
6 energy development.

7           And this specific model estimates marine life  
8 presence by considering the occurrence, activity, density,  
9 and habitat of marine species. In this case, marine mammal  
10 is referring to whales and pinnipeds, also known as sea  
11 lions and seals. And as you can see areas closer to shore  
12 have higher marine mammal density and there's generally  
13 higher activity with the Central Coast.

14           Next slide, please.

15           So this map is from the same California Offshore  
16 Wind Energy Modeling Platform, where darker green indicates  
17 a higher species occurrence, in this case, a higher marine  
18 bird presence. Similar to marine mammals, higher bird  
19 activity takes place closer to shore. In this case, you  
20 can pretty clearly see that identifying sea space 20 miles  
21 from shore avoids those higher activity areas, in the dark  
22 green, and that helps to reduce or mitigate some of those  
23 potential impacts.

24           This brings us to the leatherback sea turtle map,  
25 again from the same Offshore Wind Energy Modeling Platform

1 where the dark green indicates higher species presence. In  
2 this case, you are seeing just the leatherback turtle  
3 because based on available data, this was the only turtle  
4 species with a potentially significant presence in the sea  
5 space areas. And you can see they have a low presence off  
6 the North Coast and a considerable density off of the  
7 Central Coast. So that is definitely a conflict with the  
8 Central Coast sea space and something to consider when  
9 conducting research.

10 Next slide, please.

11 So this table is included to provide an overview  
12 of our energy generation estimates from the sea space areas  
13 identified. Because floating offshore wind technology is  
14 so new and has not been built to scale yet, we have a wide  
15 range of generation potential.

16 It is expected that the 2030 goal of 2 to 5  
17 gigawatts can be accommodated from the existing lease areas  
18 in Humboldt and Morro Bay, which we're estimating could  
19 yield 4.5 to 7.6 gigawatts of offshore wind energy. And  
20 these estimates could turn out to be conservative estimates  
21 since industry is predicting higher energy capacity for  
22 those areas. And if all of the AB 525 sea space was  
23 developed, the energy generation would range from about 31  
24 to 52 gigawatts. However, it's not expected all of these  
25 areas will need to be developed to reach the 2045 goals,

1 and they also won't likely all be suitable.

2           So the sea space identified throughout this  
3 analysis is intended as areas to focus further research on  
4 to determine which is most suitable for a potential next  
5 round of offshore releases.

6           Next slide, please.

7           This slide is a high-level summary of the  
8 conclusions from the sea space analysis, and I will  
9 highlight some of the main points, and those are, in the  
10 near term, a water depth of 1,300 meters is more feasible  
11 for development of offshore wind technology, and  
12 identifying sea space a minimum distance of 20 miles from  
13 shore avoids the greatest degree of conflicts, and large-  
14 scale conflicts that could reduce the size of sea space  
15 include benthic habitats, shipping lanes, and military  
16 activity.

17           And all of this information is detailed in the  
18 Sea Space chapter in Chapter 5 in the Strategic Planning  
19 Report.

20           Next slide, please.

21           And finally, the sea space Recommendation is to  
22 continue sea space identification, research analysis and  
23 refinement and coordination with BOEM, underserved and  
24 tribal communities, and stakeholders to inform the  
25 feasibility of offshore wind development that minimizes

1 impacts to California's coast and ocean resources.

2 And that concludes my presentation, and I will  
3 turn it to -- back to Jim.

4 MR. BARTRIDGE: Great. Thank you, Danielle.

5 And, again, folks, just to reiterate that all of  
6 the graphics and otherwise that you saw in that slide is  
7 available in Chapter 5 of the Strategic Plan.

8 So next up, we'll have a presentation from  
9 Abigail Ryder and Matthew Blazek from the Bureau of Ocean  
10 Energy Management.

11 Go ahead, Abigail and Matt.

12 MS. RYDER: If you could bring our slide up?

13 MR. BARTRIDGE: Next slide, please. Excellent.

14 MS. RYDER: Hello, my name is Abigail Ryder and  
15 I'm a Program Analyst at the Bureau of Ocean Energy  
16 Management. Today I'm presenting on the California  
17 Programmatic Environmental Impact Statement, or PEIS.

18 Next slide, please.

19 So I'd like to start with some background about  
20 the federal law, NEPA, that requires home to prepare  
21 environmental analyses.

22 The federal government prepares an Environmental  
23 Impact Statement, or EIS, to provide full and public  
24 discussion of significant environmental impacts of an  
25 action for decision makers and the public. In addition to

1 the proposed action, the EIS also considers reasonable  
2 alternatives. A Record of Decision, or ROD, is prepared  
3 after an agency issues a final EIS. The ROD states the  
4 agency's environmental decision.

5 Next slide, please.

6 There are several rounds of environmental review  
7 during the leasing and development process. And one round  
8 is already done. Environmental assessments for leasing-  
9 related activities were completed in 2022. These covered  
10 one, the issuance of commercial wind energy leases, two,  
11 site characterization activities, and this is biological,  
12 geotechnical, geophysical, and archaeological surveys, and  
13 three, site assessment activities, and this is the  
14 deployment of one or more buoys to gather oceanographic and  
15 meteorological data.

16 So we're now in the middle column of this chart.  
17 The leasing has been completed and the developers are  
18 preparing their constructions and operations plans. Lease  
19 site assessment is estimated to finish in late 2025 but  
20 this date is driven by developer for activities, so there's  
21 no hard timing for completion. We are concurrently doing a  
22 high level or programmatic review to better understand  
23 potential project impacts at a larger regional scale.

24 Later, once BOEM has received and reviewed  
25 constructions and operations plans from the developers,

1 there will be project-specific environmental reviews of the  
2 constructions and operations plans, what we call COPs.  
3 That's where more specific information, such as turbine  
4 types, locations and landfills will be available.

5           So to reiterate, the PEIS adds an additional  
6 review step. It does not replace the review that occurs if  
7 and when lessees submit constructions and operations plans.

8           The programmatic, what we are doing now, is more  
9 regional and broad in nature. It still allows us to  
10 conduct a robust analysis and examine the collective effect  
11 of the development of wind energy areas and other past,  
12 present, and future planned projects in the vicinity. It's  
13 helpful for efforts like offshore wind in California, where  
14 there are clustered project areas that will eventually  
15 undergo project level review.

16           Project-specific EISs, which will be done later,  
17 is probably what more people are familiar with. These will  
18 include project-specific details such as the specific  
19 number of turbines of a certain height at a defined spacing  
20 with a clear picture of where cables will travel and land,  
21 and what onshore facilities are needed, and so on.

22           Next slide, please.

23           So why are we doing this programmatic analysis?  
24 BOEM's goal is to conduct a regional programmatic analysis  
25 to help us identify, analyze, and adopt potential

1 mitigation measures. The programmatic EIS includes a high-  
2 level analysis of potential impacts that are not project-  
3 specific and consider mitigation measures that could be  
4 applied across all five leases.

5 For orientation, we are focusing on two groups of  
6 lease areas. Two are in the far north of the state off the  
7 coast of Humboldt County, and three are off the San Luis  
8 Obispo County coast. We refer to these by the closest  
9 large city, in this case, Moro Bay.

10 Next slide, please.

11 We are starting the programmatic EIS with three  
12 main alternatives. Alternative A is no action, no offshore  
13 wind development in the California lease areas.  
14 Alternative B is offshore wind development in the lease  
15 areas without any mitigation measures. And alternative C  
16 is the proposed action of the PEIS, offshore wind  
17 development in the lease areas with programmatic mitigation  
18 measures. And it is possible that BOEM may identify or  
19 consider one or more additional alternatives.

20 Next slide, please.

21 So to summarize and reiterate, the PEIS will  
22 identify programmatic mitigation measures which may be  
23 incorporated directly into constructions and operations  
24 plans by lessees or may be required by BOEM as conditions  
25 of approval for their constructions and operations. This

1 will enable projects proposed within lease areas to use a  
2 tiered environmental review process that builds on the  
3 outcome of the PEIS in the later project-specific analyses.  
4 However, the ROD for this programmatic EIS will not approve  
5 any activities.

6           Next slide, please.

7           So here's an overview of the PEIS timeline.  
8 Public scoping has already occurred. We published a Notice  
9 of Intent to prepare the PEIS in December with a 60-day  
10 comment period, and we received 187 comments.

11           So we're now in the second column as outlined in  
12 yellow, and we're working to write the draft PEIS, which we  
13 hope to publish this fall. This will be announced with a  
14 Notice of Availability in the Federal Register, along with  
15 a public comment period and public meetings. We will  
16 incorporate the feedback we receive and hope to finalize  
17 the PEIS by summer 2025, issuing a Record of Decision in  
18 late 2020.

19           To repeat, the ROD for the California Offshore  
20 Wind PEIS will not approve any activities. BOEM will  
21 conduct project-specific environmental impact statements on  
22 constructions and operations plans if and once we receive  
23 them.

24           For more information about the PEIS, please go to  
25 [www.boem.gov/caoffshorewindPEIS](http://www.boem.gov/caoffshorewindPEIS), and the address is on the

1 bottom of the slide.

2 Thank you for listening, and next slide. Thank  
3 you.

4 MR. BLAZEK: Welcome. My name is Matt Blazek and  
5 I will talk to you briefly about the renewable energy  
6 process that BOEM employs, as well as we'll talk about our  
7 task force that we have.

8 Next slide, please.

9 First, this chart shows the wind energy  
10 authorization process broken down into four phases. And as  
11 you can see, each phase ranges from one to five years. And  
12 so it can be a long time from planning to potential  
13 construction of an offshore wind farm. During each phase,  
14 BOE coordinates and consults with tribal, federal, state,  
15 and local partners. And there are multiple stages of  
16 environmental review and public opportunities for comment.

17 Looking at the first column, this is the planning  
18 and analysis phase. And here, BOEM will establish an  
19 intergovernmental renewable energy task force. It will  
20 also publish a Call for Information and Nominations, and  
21 identification demo, as well as conduct environmental  
22 reviews, such as what we've seen previously with the BOEM's  
23 Morro Bay and Humboldt's environmental assessments. This  
24 phase can last from one and a half years.

25 And then next, in the second column, we enter the

1 releasing phase, which can typically last one to two years,  
2 and here this includes the publication of leasing notices,  
3 conducting an auction, as well as lease issuance if  
4 companies secure any bids.

5           And if companies do acquire the leases after the  
6 auction, they then enter the next phase, the third column,  
7 which is the site assessment phase. And this can take up  
8 to five years, maybe shorter. So here, especially in  
9 California, leaseholders or lessees submit fisheries,  
10 agency, and tribal communication plans, survey plans, and  
11 assessment plans for volunteer review. After those  
12 reviews, then lessees can then begin their site  
13 characterization surveys. And again, this phase, this is  
14 where the current lessees are, Morro Bay and Humboldt.

15           The final phase, the construction and operations  
16 phase, which is our last column. And this includes a  
17 Construction and Operations Plan, or we just call it COP,  
18 that lessees would submit. And they'll also submit  
19 facility design reports, fabrication, and installation  
20 reports. The construction and operations phase also  
21 includes multiple environmental and technical reviews,  
22 monitoring, and reporting, in addition to permitting from  
23 many state and federal agencies.

24           And then lastly, if a COP is approved, and only  
25 then can the installation of an offshore wind farm begin.

1           Next slide, please.

2           So we're going to look a little bit more closely  
3 into that very first column, that planning and analysis  
4 phase, and specifically talk about the establishment of the  
5 California Intergovernmental Renewable Energy Task Force.  
6 So the purpose of this task force is to serve as one of  
7 several tools for coordination with tribal, federal, state,  
8 and local government partners. So through task forces and  
9 task force meetings, there will be updates, issues, and  
10 concerns pertaining to offshore wind were discussed in a  
11 more formal manner. And then information regarding  
12 projects, resources, policy, and process updates,  
13 priorities, and other notable items are shared to help  
14 inform BOEM on our renewable energy decisions.

15           A few things to note. Task force meetings do not  
16 replace other consultation mechanisms specified in your  
17 existing penal laws and regulations, and task force  
18 meetings are not chartered under the Federal Advisory  
19 Committee Act.

20           A brief history on the task force here in  
21 California. It was formally established in 2016 per  
22 request from former Governor Jerry Brown, and five meetings  
23 have been held since in 2016, 2018, 2020, 2021, and 2022.  
24 And the (indiscernible) of attendees and presentations from  
25 all these previous task force meetings can be found on

1 Bowdoin's website, just go to boem.gov/California.

2           And if the State of California finalizes the AB  
3 525 Strategic Plan, BOEM intends to hold a sixth task force  
4 meeting sometime in the future to discuss updates on  
5 existing leases and possible future offshore wind energy  
6 lease planning.

7           Next slide, please.

8           So let's see what's going on for ongoing  
9 activities involving the leases. So lessees will continue  
10 to submit and will continue to review those communication  
11 plans and survey plans. Some lessees do aim to start site  
12 characterization surveys in 2024, while others will wait  
13 for 2025.

14           BOEM is continuing to collaborate with the state  
15 on future potential California leasing areas, and BOEM will  
16 continue to perform outreach with tribal, federal, state,  
17 and local partners appropriately.

18           And then, BOEM will also continue to collect data  
19 that pertains to offshore wind planning via our existing  
20 partnership with the NOAA and COSTS program there.

21           And next slide.

22           And again, if you have any questions, feel free  
23 to email us. Here's our contact information below, and we  
24 thank you for your time.

25           MR. BUCANEG: Okay. Great. Thank you, Abigail

1 and Matt.

2 MR. BARTRIDGE: We're right on time, folks, so  
3 next we will move into a discussion of offshore wind  
4 permitting and agency roles, beginning with an overview of  
5 Chapter 10 by Eli Harland.

6 Eli, I see you're on, so go ahead, take it away.

7 MR. HARLAND: Great. Thank you, Jim.

8 Good morning. My name is Eli Harland, and I work  
9 at the California Energy Commission within the STEP  
10 Division and with the Offshore Wind Team that you've heard  
11 from today. I'm going to present Chapter 10 of the  
12 Strategic Plan, which covers permitting.

13 Before I start the presentation, I wanted to make  
14 sure and build upon the acknowledgments we heard at the top  
15 of the workshop. This part of the Strategic Plan was a  
16 multi-agency and multiyear effort. While the CEC is the  
17 agency called on to deliver the Strategic Plan, permitting  
18 involves many agencies. So following my presentation of  
19 the content of the draft Strategic Plan will be  
20 presentations from state agencies with different roles in  
21 permitting the development of offshore wind.

22 Next slide, please.

23 So the requirements for permitting from AB 525,  
24 AB 525 requires the CEC to include a chapter in the  
25 Strategic Plan on permitting that includes the findings

1 from the interim report, the permitting roadmap. Elizabeth  
2 covered this in her overview at the top of the workshop.  
3 The permitting roadmap, which was adopted by the CEC, was  
4 required to describe timeframes and milestones for a  
5 coordinated, comprehensive, and efficient permitting  
6 process for offshore wind energy facilities.

7           The permitting roadmap is also required to  
8 include a goal for the permitting timeframe, clearly define  
9 local, state, and federal agency roles, responsibilities,  
10 and decision-making authority, and include interfaces with  
11 federal agencies including timing sequence and coordination  
12 with federal permitting agencies, and coordination between  
13 reviews under the California Environmental Quality Act or  
14 CEQA and the Federal National Environmental Policy Act or  
15 NEPA.

16           Next slide, please.

17           So AB 525 and the permitting roadmap is not the  
18 first exploration of permitting offshore wind facilities  
19 off the coast of California. As we heard from BOEM, in  
20 2016, the feds in the state entered into an MOU for  
21 coordinating planning and development of both land-based  
22 and ocean-based renewable energy resources. And really,  
23 during the lead up to the original 2018 Call Areas to the  
24 first leased auction, the state agencies coordinated to  
25 prepare for and support Coastal Commission staff's CZMA

1 review, which we'll hear more about.

2           The first AB 525 permitting document was the  
3 conceptual permitting roadmap posted for public review in  
4 December 2022, and then the final Permitting Roadmap which  
5 was completed in May 2023. That roadmap includes a robust  
6 discussion of the federal, state, and local permits or  
7 authorizations required to develop offshore wind. The  
8 roadmap also explores different possible approaches and  
9 includes a preference for a coordinated permitting and  
10 environmental review approach, with a recommendation that  
11 state agencies also have resources and capacity to support  
12 that.

13           The Permitting chapter of the Strategic Plan  
14 includes summaries of public comment received on the  
15 approaches, which I'll touch on as I describe the  
16 coordinated permitting approach and environmental review  
17 approach.

18           Next slide, please.

19           So the coordinated permitting approach. The  
20 logos on the slides are meant to capture a few of the major  
21 reasons why a permitting roadmap and strategy make sense.

22           First of all, BOEM is the lead for this activity  
23 and NEPA is what they follow as well as several other for  
24 responsible federal agencies. And because projects will  
25 need state approval, CEQA is shown here as is CZMA or the

1 Coastal Zone Management Act. Now, there could be several  
2 more logos to truly convey the amount of coordination  
3 that's required, but these are some of the major ones and  
4 some of the reasons why a roadmap makes sense.

5 The coordinated approach would involve the  
6 creation of a leadership level group and staff coordinating  
7 group, what we've called the Ocean Renewable Energy Policy  
8 Group and the Ocean Renewable Energy Action Team, or as the  
9 draft chapter describes, these would be groups that are  
10 based on a similar approach that was taken for land-based  
11 projects in California over a decade ago. These would be  
12 made up of the federal, state, and local agencies with  
13 permitting responsibilities.

14 Timeframes and schedules, as well as issue  
15 resolution, would happen for each project. And the chapter  
16 points out that a primary goal for these groups would be to  
17 work toward joint environmental review documents for  
18 projects.

19 Chapter 10 of the draft Plan includes a summary  
20 of comments received from the offshore wind industry and  
21 from a group of environmental organizations. The industry  
22 shared many suggestions for how a coordinated group could  
23 work within existing authorities, and also perspectives on  
24 agency timing and project development timelines. And the  
25 environmental groups also shared suggestions for the

1 coordinated group and, similar to the offshore wind  
2 industry, emphasize some immediate first steps that a  
3 coordinated group should do.

4 Next slide, please.

5 So here's an example of a coordinated approach.  
6 There are potential elements of a proposed structure for a  
7 coordinated permitting approach applied to the ocean and  
8 marine environment for offshore wind, as I said, referred  
9 to as the ocean REAT approach.

10 This schematic is an example graphic of how a  
11 coordinated structure could be established. To implement  
12 this, it would need to include participation from BOEM and  
13 other federal agencies, and California agencies like the  
14 Coastal Commission, State Lands Commission, CDFW, and the  
15 Energy Commission, as well as potentially other local  
16 agencies that have roles in planning, environmental review,  
17 and permitting of offshore wind. This graphic is  
18 considered just an example to illustrate the structure  
19 that's described in the draft chapter.

20 Next slide, please.

21 Environmental review approaches. The permitting  
22 roadmap presented opportunities for the preparation of  
23 joint documents under NEPA and CEQA that could be  
24 considered by the various state and federal agencies with  
25 permitting responsibilities. Both NEPA and CEQA are

1 intended to promote coordination, improve public  
2 understanding, and lead to more informed decisions. Those  
3 laws encourage the development of joint documents,  
4 recognizing the efficiencies that can result from the  
5 preparation of a single document that can support multiple  
6 agency decisions. Joint documents have been commonly  
7 prepared for infrastructure projects when the project  
8 requires both state and or local and federal permits.

9 Chapter 10 in the draft Plan includes a summary  
10 of comments received on environmental review approaches.  
11 In joint comments submitted by environmental organizations,  
12 they recommend preparing MOUs, agreements on shared  
13 timelines, and relying on the same data for analysis.

14 As identified also in the permitting roadmap,  
15 another approach to facilitating the permitting of complex  
16 projects is to develop programmatic environmental documents  
17 under both NEPA and CEQA. As we heard from BOEM, under  
18 NEPA that would be a PEIS and under CEQA a PEIR. A PEIS or  
19 a PEIR is an environmental document that broadly describes  
20 the effects of a series of related activities, such as a  
21 plan or program with multiple components.

22 We just heard the update from BOEM about the PEIS  
23 they have initiated for the first five lease areas. And  
24 chapter 10 in the draft Plan summarizes comments from the  
25 offshore wind industry about programmatic reviews. The

1 industry recommends that state agencies actively  
2 participate in the PEIS.

3 Next slide, please.

4 The BOEM process is illustrated on the slide  
5 here. I think we'll see a similar slide to this throughout  
6 the presentations today, and we saw one from BOEM earlier.  
7 The purpose of this slide is to show the arrows that are  
8 shown across the top of the timeline. So the blue section  
9 of the arrow indicates the time period before leases are  
10 entered into. And the red section is after leases are  
11 executed. And for California this could technically have  
12 five lines or one for each of the lease areas.

13 Chapter 10 in the draft envisions that a  
14 coordinated agency approach for an efficient permitting  
15 process for offshore wind facilities is anchored to BOEM's  
16 four-phase process as BOEM has the primary jurisdiction.  
17 BOEM has exclusive authority to grant leases and approve  
18 facility construction and operation plans for renewable  
19 energy development and in its implementing regulations, and  
20 as explained in the permitting roadmap and just by BOEM  
21 just before my presentation.

22 So Chapter 10 of the draft reiterates from the  
23 permitting roadmap that because a lessee must submit a COP  
24 to BOEM, or a Construction and Operation Plan, it is  
25 important that the state is included early and often in the

1 process to develop a COP. As once deemed complete, the  
2 NEPA process begins as phase four.

3 Further, the chapter explains that phase four is  
4 also the point in the process where BOEM and the California  
5 State Lands Commission, along with other California  
6 agencies, through the Ocean REAT approach, could conduct a  
7 coordinated NEPA and CEQA review.

8 The chapter also explains that the Ocean REAT and  
9 Ocean Renewable Energy Policy Group could play a key role  
10 earlier BOEM's planning and analysis phase and leasing  
11 phases, and that's the blue line that's on the graphic.  
12 Obviously, this would have to be done in a way that is  
13 consistent with existing law and wouldn't be intended to  
14 supplant the BOEM California Intergovernmental Task Force  
15 but to help bolster and inform it.

16 Next slide, please.

17 So the permitting process for any large  
18 infrastructure such as offshore wind is complex and  
19 involves numerous state, federal, and local agencies. A  
20 multi-agency permitting approach was developed to  
21 coordinate the permitting for large renewable energy  
22 projects in the California desert. The REAT, or Renewable  
23 Energy Action Team, and the Renewable Energy Policy Group,  
24 or REPG, set a stage for coordination where there wasn't  
25 previously a stage over a decade ago for those projects in

1 the desert.

2           And the recommendations that are in the draft  
3 chapter, as well as in the recommendations chapter for  
4 permitting, the first one is consider developing a  
5 coordinated, comprehensive, and efficient permitting  
6 process modeled on a successful REAT approach, called the  
7 Ocean REAT, and engage early and consistently with BOEM on  
8 its Offshore Wind Programmatic Environmental Impact  
9 Statement, or PEIS, to ensure the state's priorities are  
10 reflected.

11           That's the summary of the draft chapter, so I'll  
12 turn it back to you, Jim.

13           MR. BARTRIDGE: Great. Thank you, Eli.

14           Next, we'll have a presentation -- next slide,  
15 there we go -- from Jennifer Lucchesi, the Executive  
16 Officer for the California State Lands Commission, which is  
17 the lead agency for CEQA for offshore wind energy projects.

18           Jennifer?

19           MS. LUCCHESI: Thank you, Jim.

20           Good morning still. I am here to talk about the  
21 State Lands Commission's role in environmental review and  
22 permitting of offshore wind energy projects.

23           Next slide, please.

24           The State Lands Commission is primarily a land  
25 management agency with some narrowly defined regulatory

1 roles. The Commission is governed by California's  
2 Lieutenant Governor, State Controller, and the governor-  
3 appointed Director of Finance. All Commission decisions  
4 are made at public meetings held approximately every two  
5 months.

6 Next slide, please.

7 The Commission manages the state's public trust  
8 lands, which include tide and submerged lands from the mean  
9 high tide line out to three miles, the federal state  
10 boundary offshore. It also includes the beds of bays and  
11 estuaries and navigable lakes and rivers.

12 The Commission has the authority to lease state  
13 lands for public trust consistent development and uses  
14 including commerce, navigation, fisheries, water-dependent  
15 recreation, and habitat preservation, and with  
16 consideration to what's in the best interest of the state.

17 Next slide, please.

18 The Commission has multiple roles in the  
19 permitting and review of offshore wind energy projects.  
20 During the site assessment phase, federal lessees will need  
21 to ensure that any offshore geophysical surveys and  
22 geological sampling in state waters is permitted by the  
23 State Lands Commission.

24 Next slide, please.

25 The Offshore Geophysical Survey Permit Program

1 and Geological Sampling Permits are issued as non-exclusive  
2 permits to qualified operators. The Offshore Geophysical  
3 Permit Program authorizes low-energy surveys of the ocean  
4 bottom and marine environment using specific types of  
5 equipment. The Geological Sampling Permit, which could  
6 include authority to conduct sediment pouring, requires  
7 project- and site-specific analysis. Both permits contain  
8 conditions and terms to minimize impacts to wildlife and  
9 the marine environment, and require public notification to  
10 minimize conflicts with ocean users, including vessels  
11 engaged in fishing, commerce, and navigation.

12           Next slide, please.

13           During the construction and operations phase, the  
14 Commission will serve as a California Environmental Quality  
15 Act, or CEQA, lead agency for review of potential  
16 environmental impacts of proposed projects. And lessees  
17 will be required to obtain a lease from the Commission for  
18 project components that are proposed to be located on state  
19 lands.

20           Next slide, please.

21           Federal lessees will need to submit an  
22 application to the Commission to lease state lands for  
23 their project components that cross through state waters,  
24 such as export cables that transmit power from the offshore  
25 wind farm to shore. That application will trigger an

1 analysis of project consistency with the public trust  
2 doctrine with consideration to what is in the best  
3 interests of the state, a review of the potential  
4 environmental impacts of the proposed projects under CEQA,  
5 and negotiations to establish lease terms and conditions,  
6 bonding, and rent prior to consideration of a project  
7 approval or denial by the Commission.

8           Next slide, please.

9           Senate Bill 286, signed into law in 2023,  
10 designates the Commission as the CEQA lead agency for all  
11 offshore wind projects. The purpose of CEQA is to inform  
12 decision makers and the public about potential  
13 environmental impacts of proposed projects, develop  
14 measures to mitigate those environmental impacts to the  
15 extent feasible, and to consider alternatives -- excuse  
16 me -- alternatives to proposed projects that could lessen  
17 environmental impacts.

18           While only certain components of these federal  
19 offshore wind projects will be in state waters, CEQA  
20 requires that we consider the entirety of the project when  
21 assessing potential environmental impacts. The Commission  
22 has extensive CEQA experience and often prepares CEQA  
23 documentation for projects traversing federal and state  
24 waters, such as fiber-optic cables and oil and gas  
25 pipelines.

1           Next slide, please.

2           A focus of the AB 525 offshore wind permitting  
3 roadmap is a coordinated approach to environmental review.  
4 During this process, the Commission, as the CEQA lead  
5 agency, will work closely with the Bureau of Ocean Energy  
6 Management as the federal lead agency under NEPA to jointly  
7 review the environmental impacts of proposed offshore wind  
8 energy individual projects.

9           The preparation of a single joint CEQA-NEPA  
10 environmental document can create efficiencies by having  
11 all the required environmental information and analysis for  
12 permitting agencies in one place, consistency in the  
13 determination of potential impacts and the development of  
14 measures to mitigate those impacts, and will allow for a  
15 more simple and straightforward process for public review  
16 and comment.

17           Furthermore, the Commission will partner with  
18 BOEM in the analysis of both the big-picture programmatic-  
19 level analysis to evaluate broad offshore wind policies and  
20 project-specific analyses that will tier from the program-  
21 level document.

22           Next slide, please.

23           This slide shows the general process for a  
24 preparation of an environmental impact report, or EIR,  
25 which will include noticing to the public about the start

1 of the CEQA process to solicit public feedback on the  
2 content, scope, and alternatives to be analyzed in the EIR.  
3 This is followed by preparation of a draft document that is  
4 then available for public review and comment prior to  
5 preparation of the final EIR, which includes consideration  
6 of and response to public comments. That final document  
7 goes before the Commission for certification during a  
8 public hearing that again provides for an opportunity for  
9 public input.

10           Next slide, please.

11           Tribal outreach and consultation will be a  
12 critical component of the environmental review process and  
13 the Commission's consideration of any offshore wind lease  
14 application. This outreach and consultation is above and  
15 beyond the outreach and consultation associated with the  
16 Strategic Plan.

17           AB 52, enacted in 2014, established requirements  
18 for CEQA lead agencies to engage in early consultation with  
19 traditionally and culturally affiliated tribes that have  
20 requested project notification.

21           The State Lands Commission, through its Tribal  
22 Consultation Policy, recognizes that tribes have used many  
23 of the lands, waterways, and resources that are affected by  
24 Commission and actions to support their cultures and ways  
25 of life for millennia, and that tribes and their members

1 have unique and valuable knowledge and practices for  
2 conserving and using these resources sustainably that must  
3 be considered during environmental review of any proposed  
4 projects on state lands.

5 Next slide, please.

6 The final components of the Commission's  
7 coordinated review and analysis process will be working  
8 with our partner agencies in consideration of  
9 disproportionate impacts of proposed projects on  
10 disadvantaged and underserved communities, the potential  
11 for climate change to impact proposed projects, and how the  
12 proposed projects will affect ocean users, including  
13 commercial fishing and navigation.

14 Next slide, please.

15 That concludes my presentation. Thank you so  
16 much.

17 MR. BARTRIDGE: Thank you, Jennifer.

18 Sorry about the dogs in the background.

19 Next, we'll have a presentation from Holly Wyer  
20 with the California Coastal Commission.

21 Holly, are you with us?

22 MS. WYER: I am. Can you hear me?

23 MR. BARTRIDGE: We can hear you. Take it away.  
24 Thank you.

25 MS. WYER: Thank you. Next slide, please.

1           Good morning, everyone. Thank you for having me  
2 here today. I'm Holly Wyer. I'm a Senior Environmental  
3 Scientist in the Energy, Ocean Resources, and Federal  
4 Consistency Program at the California Coastal Commission.  
5 And I'm also the Commission's lead planner for offshore  
6 wind development. Today, I'll be discussing the  
7 Commission's role in permitting offshore wind.

8           Next slide, please. The Coastal Commission has a  
9 unique role offshore wind permitting because we implement  
10 two laws, the Coastal Zone Management Act and the  
11 California Coastal Act. The Coastal Zone Management Act is  
12 a federal law that requires federal actions and permits be  
13 consistent with state coastal management policies. The  
14 California Coastal Act is a state law that requires the  
15 Coastal Commission and local governments to regulate  
16 development within the state's coastal zone. I'm going to  
17 be discussing both of these laws today and our roles in  
18 each and I'll start with the Coastal Zone Management Act.

19           Next slide, please.

20           The Coastal Zone Management Act creates a  
21 partnership between the state and federal government and  
22 provides states with decision-making authority over federal  
23 actions and permits that impact state waters or state  
24 coastal resources. The effects of a proposed project,  
25 rather than its location, determine whether federal

1 consistency review is required. The state has jurisdiction  
2 over state waters, as Jennifer just mentioned, which extend  
3 up to three nautical miles from shore, and the federal  
4 government has jurisdiction beyond that.

5           Regardless of the location of an offshore wind  
6 farm, whether it's located inside or outside California's  
7 coastal zone, it can trigger federal consistency review by  
8 the Coastal Commission if it will cause reasonably  
9 foreseeable effects on California's coastal resources. For  
10 projects that require federal permits or licenses, federal  
11 agencies cannot issue their license or permit until the  
12 Coastal Commission has concurred with the project or has  
13 waived the need for consistency.

14           Our authority under the Coastal Zone Management  
15 Act means that we're the only state agency with an official  
16 action at the leasing phase of the Bureau of Ocean Energy  
17 Management's process, and we have an additional Coastal  
18 Zone Management Act review once construction and operations  
19 plans are submitted.

20           Next slide, please.

21           So you are seeing this graphic yet again today.  
22 And as you know, it provides an overview of BOEM's process  
23 and calls out specifically where the Coastal Commission  
24 does Coastal Zone Management Act review with those green  
25 arrows towards the bottom of the slide.

1           The first review occurs when BOEM identified the  
2 wind energy area and prepares for leasing and analyzes how  
3 site assessment activities may impact California's coastal  
4 resources. The second review occurs when the lessees  
5 submit Construction and Operations Plans to BOEM and those  
6 projects undergo a project-specific environmental review,  
7 including a review of how the project will affect  
8 California's coastal resources.

9           Next slide, please.

10           Switching gears to state law, under the Coastal  
11 Act, the Commission issues Coastal Development Permits for  
12 development within the coastal zone in areas of retained  
13 jurisdiction, including state waters.

14           As an aside, local governments issue Coastal  
15 Development Permits in areas where the local government has  
16 an approved local coastal program. I'll come back to this  
17 in a moment.

18           The coastal zone has a landward boundary that's  
19 defined in the Coastal Act and the seaward boundary of the  
20 coastal zone is three nautical miles from shore. This is  
21 the area where we have state Coastal Act jurisdiction.  
22 Unlike the Coastal Zone Management Act, this is  
23 geographically defined.

24           When reviewing development, the Coastal  
25 Commission analyzes the impacts of proposed development on

1 coastal resources, assesses the proposed development for  
2 consistency with Coastal Act policies, and applies  
3 conditions to the permit if necessary. Coastal Act  
4 policies address resource areas including public access,  
5 recreation, the full spectrum of biological resources,  
6 habitat protection, fishing activities, visual resources,  
7 and cultural resources.

8           In the context of offshore wind specifically,  
9 State Senate Bill 286 requires that the Coastal Commission  
10 process Consolidated Coastal Development Permits for any  
11 new development that's associated with or necessary for the  
12 construction and operation of an offshore wind energy  
13 project, transmission facilities needed for those projects  
14 that are located in the coastal zone.

15           Consolidated Coastal Development Permits are used  
16 when the project is in the coastal zone jurisdictions of  
17 both the Commission and the local government. Without a  
18 Consolidated Permit, in these cases, both the local  
19 government and the Coastal Commission would issue a Coastal  
20 Development Permit for their portions of the project.  
21 Issuing a Consolidated Permit eliminates the need for these  
22 separate permits and instead results in a single permit for  
23 the whole project.

24           As part of the Consolidated Permit process, SB  
25 286 requires coordination with the local government that

1 would normally issue a Coastal Development Permit for the  
2 project and requires that the Commission incorporate and  
3 address the recommendations of the local government in the  
4 final Consolidated Coastal Development Permit.

5 Next slide, please.

6 So when looking at offshore wind as a whole, the  
7 Commission would conduct Coastal Zone Management Act review  
8 on the development in the lease areas and on the export  
9 cables in federal waters. The Commission would also  
10 conduct California Coastal Act review on export cables in  
11 state waters and cable landings to shore and any  
12 infrastructure onshore in the coastal zone. Projects that  
13 qualify for the required Consolidated Permit process in SB  
14 286 would be processed with a Consolidated Permit.

15 When projects in federal waters also cross into  
16 state waters and require a Coastal Development Permit,  
17 federal consistency review is typically done concurrent  
18 with coastal act review and both of those actions are  
19 brought before the Commission in one staff report. We have  
20 experience doing this concurrent review for fiber optics  
21 cable projects and we anticipate similar concurrent review  
22 for offshore wind projects.

23 Next slide, please.

24 This concludes my remarks on the Coastal  
25 Commission's role on offshore wind permitting and thank you

1 for your attention.

2 MR. BARTRIDGE: Thank you Holly. Excellent.

3 Next, we have a presentation from Cyndi Dawson  
4 with the California Department of Fish and Wildlife.

5 Cyndi, are you with us?

6 MS. DAWSON: Yeah. Can you hear me okay?

7 MR. BARTRIDGE: Excellent. We can see you and  
8 hear you. Thank you. Go ahead.

9 MS. DAWSON: Next slide, please.

10 Hello, everyone. Thank you for attending the  
11 workshop today. My name is Cyndi Dawson and I'm a Senior  
12 Environmental Scientist with the California Department of  
13 Fish and Wildlife, Marine Region and Habitat Conservation  
14 Program.

15 Next slide, please.

16 I'd like to spend my time today talking to you  
17 about the general roles of California Department of Fish  
18 and Wildlife and how they're going to intersect with  
19 offshore wind permitting.

20 So the California Department of Fish and Wildlife  
21 is a trustee agency with jurisdiction of the conservation,  
22 protection, and management of wildlife, native plants, and  
23 habitats. We also have regulatory authority under the  
24 California Endangered Species Act. This is the California  
25 version, similar to the Federal Endangered Species Act.

1 And then we also have management -- we're also in charge of  
2 the management of the Marine Protected Area Network that  
3 spans across California, as well as state managed  
4 fisheries. We also have joint management authority with  
5 the federal government through the Pacific Fisheries  
6 Management Council for federally managed fisheries.

7           So I'm going to go into a little bit more detail  
8 about how each of these areas of jurisdiction are going to  
9 play out related to offshore wind and the Department of  
10 Fish and Wildlife's role.

11           Go ahead and go forward to the next slide.

12           So under our jurisdiction and public trustee  
13 responsibilities, one of the things that we issue is  
14 Scientific Collecting Permits. And the Department issues  
15 those when any type of scientific research will result in  
16 take. So take is defined as capture or pursue or kill, but  
17 it also includes things like collecting, handling, marking,  
18 manipulating, or conducting other procedures in group life.

19           So there are general exceptions associated with  
20 our Scientific Collecting Permit authority. So we do not  
21 issue permit for things like water samples or coring  
22 samples that are looking at the sediment. We are concerned  
23 particularly with impacts, potential impacts to marine  
24 living resources.

25           So if you look on the right hand of the slide

1 there, you can see that's a bottom grab, and that's  
2 specifically used to do research on the animals that live  
3 inside the sediment. So that would be something that the  
4 Department would issue a permit.

5           So those exceptions related to water quality  
6 sampling or water our sediment samples do not fly in our  
7 marine-managed areas. The marine-managed areas and the  
8 marine-protected areas have higher levels of protection  
9 associated with their biodiversity and ecosystem goals.  
10 And so pretty much anything that happens in a marine-  
11 protected area would need to be permitted under a  
12 scientific collective.

13           Next slide, please.

14           Under our responsibility under the California  
15 Endangered Species Act, one of the things the Department is  
16 tasked with is issuing Incidental Take Permits. Those can  
17 be considered when a range of conditions are met and there  
18 is any take of threatened or endangered species. So this  
19 can happen during any phase of the offshore wind  
20 development.

21           And as I said, there's a specific list of  
22 conditions that must be met before the Department could  
23 issue an incidental take permit. The action needs to be  
24 lawful. The impacts need to be fully mitigated and  
25 minimized. The applicant has to ensure that they have

1 adequate funding to carry out those measures. And we have  
2 to make the biological determination that the take will not  
3 jeopardize the continued existence of the species.

4           As you heard from other colleagues, there's a lot  
5 of interplay between the state regulatory agencies and the  
6 federal agencies. And one of the things the Department can  
7 issue is a consistency determination related to an  
8 Incidental Take Permit.

9           So, for example, if federal regulators decide to  
10 issue an incidental take permit on their side under their  
11 authority for something like a California least tern, which  
12 is listed both at the federal level and at the state level,  
13 the applicant or the person who received the Incidental  
14 Permit at the federal level could request that the  
15 Department do a consistency determination. And if the  
16 stipulations within the ITP at the federal level are found  
17 consistent, they would need no further authorization  
18 through the state or the Department for that ITP.

19           Next slide, please.

20           So there are other points of engagement where the  
21 Department may be involved in permitting, and also through  
22 our consultation role. As I mentioned, we have a network  
23 of marine and protected areas across the state. And we are  
24 charged with the management of that. So any direct or  
25 indirect impacts on the MPA network would be a place where

1 the Department would be involved in weighing in.

2 Another place where the Department could be  
3 involved is if there is determined that the project has a  
4 substantial impact on any river, stream or lake. We issue  
5 an agreement called a Lake and Streambed Alteration  
6 Agreement, and that has a public review process associated  
7 with that. So potential landfalls of cables or things like  
8 that may cross that threshold, and we would have to go  
9 through a determination through that process.

10 There are also protected habitats that are  
11 designated by the federal government, including essential  
12 fish habitat or eelgrass protections that have a higher  
13 level of protection. And then the Department has -- is  
14 required by law to bring their biological expertise to the  
15 table to assist our sister agencies at both the federal and  
16 the state level in their environmental review.

17 And I just want to re-emphasize with its own  
18 bullet that one of the primary roles that the Department is  
19 going to play throughout the process of offshore wind  
20 development in California is through interagency  
21 consultation. You heard from our colleagues at BOEM and  
22 colleagues at our state agencies that there will be,  
23 likely, joint development of environmental review  
24 documents, and the Department will be involved throughout  
25 those processes to bring our biological expertise.

1           Next. Oh, I did want -- I'm sorry, go back one  
2 slide.

3           I do want to also just point out that on this  
4 slide, you can see the Morro Bay wind energy area. And you  
5 can see that to the north, we have the National Marine  
6 Sanctuary. To the south, we have the proposed Chumash  
7 Heritage National Sanctuary. The line on the -- as you're  
8 moving to the right of the picture designates the three  
9 nautical mile line of state waters. And then you can also  
10 see blue and red boxes. Those indicate the Marine  
11 Protected Area Network. And I think I just wanted to give  
12 you some grounding spatially about where the department  
13 could be involved. And then again, this higher level  
14 protection or the state marine protected areas that  
15 wouldn't allow things like infrastructure to be put through  
16 the existing network.

17           Okay, next one.

18           This is a popular one. You've seen it several  
19 times so far this morning, but it does provide some really  
20 great grounding about where we're at. We're kind of right  
21 in the middle left of the slide, moving, as you've heard  
22 from colleagues, through the site characterization and site  
23 survey phase. And I just want to wrap up today by kind of  
24 summarizing the different phases of the development and,  
25 again, where the Department will be involved.

1           Next slide, please.

2           Okay, so this is a slide that I adjusted from  
3 BOEM and it's showing kind of the three phases of  
4 development, the site characterization and survey phase,  
5 where we're at now, moving into site assessment, and then  
6 the construction and operation.

7           You can see there's different elements in each of  
8 those boxes. And the key of each element is that the  
9 bolded elements in each one of the box kind of show where  
10 the Department of Fish and Wildlife would likely be issuing  
11 a permit, and then the underlying elements in the boxes are  
12 where the Department of Fish and Wildlife is going to be  
13 likely engaging in that element under its consultation.

14           So if we start on the left-hand side of the  
15 slide, we can see that we have geophysical surveys,  
16 historical and archaeological surveys that some developers  
17 are going to be getting underway this year, others will  
18 start next year. We would be in a consultation role most  
19 likely in that space, but anything that has to do with  
20 habitat and wildlife, the Department could be issuing a  
21 permit directly for that.

22           In site assessment, that's really meteorological  
23 focus, has a meteorological focus, but the installation of  
24 those buoys and the removal of those buoys, the Department  
25 also would be in consultation for that. And just a

1 reminder that there is an Approved Site Assessment Plan for  
2 that particular stage that BOEM requires.

3           And then again, moving into the construction and  
4 operation phase, for port facilities, transmission lines,  
5 operation and maintenance, it's likely the department could  
6 be issuing a permit in that space. And then for turbines  
7 and substations and inter-array cables and moorings, we  
8 would be in a consultation mode.

9           Next slide.

10           So that's all I have today. Thank you again for  
11 your time and attending the workshop. Please do not  
12 hesitate to reach out to us at any time. We're happy to  
13 answer questions and provide information on the process and  
14 the timeline whenever we can.

15           Thank you.

16           MR. BARTRIDGE: Thank you, Cyndi. Great  
17 presentation.

18           Next, we have a presentation from Phillip Crader  
19 with the State Water Resources Control Board.

20           Next slide. Okay, great.

21           And, Phil, go ahead.

22           MR. CRADER: Hey, good morning. Can you hear me  
23 okay, Jim?

24           MR. BARTRIDGE: We can hear you. Go ahead.  
25 Thank you.

1           MR. CRADER: Hi, everybody. I'm Phil Crader.  
2 I'm with the State Water Resources Control Board. I'm an  
3 Assistant Deputy Director in our Division of Water Quality.  
4 And I really appreciate the opportunity to be here today  
5 and talk about our role in permitting these offshore wind  
6 projects.

7           Before I get into my presentation, I'm just going  
8 to move through it fairly quickly, there's a couple points  
9 today that I'm going to re-emphasize at the end of the  
10 presentation, but I just want to start off by saying we  
11 understand water quality permitting is not something that  
12 everybody does for a living. It can be nuanced and  
13 complicated.

14           And please, anytime you're thinking about getting  
15 started the project or if you have questions, the first  
16 thing is to reach out to us early, reach out often, let us  
17 know what you're proposing to do. We have made it a  
18 priority to expedite the processing and the approval of  
19 applications for green energy projects, for environmentally  
20 friendly projects. We want to provide excellent customer  
21 service and so we really do our best to remove obstacles  
22 and be prompt in responding.

23           So the takeaways today, again, reach out. You're  
24 going to have my contact information and some resources at  
25 the end, and that's what I'm hoping to get out of this.

1           So with that, let's jump into it, if we can move  
2 on to the next slide?

3           So first of all, the Water Boards, we are an  
4 organization of ten different orgs, and we're also kind of  
5 one org. So we are the State Water Resources Control Board  
6 where I work, and we address statewide issues or issues  
7 that cross multiple regions, including policies, permits,  
8 and plans. This here today, we're talking about a coastal  
9 issue. Obviously, it does span multiple regions, so this  
10 is a State Water Board issue.

11           We are also nine Regional Water Quality Control  
12 Boards, each addressing regionally specific permits and  
13 plans. And this also affects individual regions. And so  
14 in working with us on this, you're going to want to work  
15 with the whole Water Board. I'm the liaison to get you in  
16 touch with the right folks.

17           We oversee, as you can see here, you know,  
18 millions of acres of water bodies, including lakes, bays,  
19 and estuaries, and many, many miles of rivers and streams,  
20 and relevant to today, over 1,000 miles of California's  
21 beautiful coastline. So if you have an activity that's  
22 going to be discharging a waste that can affect the quality  
23 of our waters in California, you probably need a permit  
24 from the Water Board, and that's I want to get into today.

25           So if we can move to the next slide?

1           The regulatory requirements can become more  
2 confusing. And that's where I don't really expect anybody  
3 to be an expert in permitting. I just want to have these  
4 resources on paper for you at the end of the day. But they  
5 can vary a lot by activity type and water body.

6           And one of the first sort of distinctions is  
7 whether we're looking at federal permitting regimes or  
8 state. The federal ones have been delegated to us and we  
9 administer those programs. And so we issue permits if  
10 you're working in federal waters or discharging to federal  
11 waters, including National Pollutant Discharge Elimination  
12 Permits, or NPDES permits, and Clean Water Act Section 401  
13 certifications for dredge and fill work in waters of the  
14 United States.

15           We also issue permits under the state Porter-  
16 Cologne Water Quality Control Act for work, again, in water  
17 if it's a non-federal waters of the state or discharges to  
18 surface waters, groundwater or land. The ocean is going to  
19 be considered a water of the United States, but I  
20 understand that these projects are going to have  
21 infrastructure that crosses waters, moves to land,  
22 ultimately to some substation or transmission area. And so  
23 we want to make sure that we're thinking about all the  
24 permitting.

25           If we can move to the next slide, please?

1           So in terms of permit types at the Water Board,  
2 we work really in two different types of permits. We issue  
3 individual permits for single projects where they're kind  
4 of unique. A discharger would file an application with us.  
5 The discharger is expected to provide all the environmental  
6 documentation to us, so that's going to be CEQA and NEPA  
7 documentation. The Board will then consider the  
8 application materials, the environmental documentation,  
9 we'll go through our process, and we would issue an  
10 individual permit for each application that's filed.

11           In individual permits, applicants and the Board  
12 are typically looking at higher costs to develop the  
13 permit, longer timeframes. However, the advantage with an  
14 Individual Permit is that they can be tailored very  
15 specific to a discharge.

16           Fortunately, we also have the authority to issue  
17 what we call General Permits, and we issue these for  
18 classes of projects that have a lot of common  
19 characteristics, like similar discharge, similar activities  
20 types, similar risk. When we issue General Permits, we  
21 develop the environmental documentation or we work with  
22 groups of applicants to do it. And we develop that before  
23 the general permit is adopted.

24           Once the Board adopts the permit, discharges will  
25 file what we call a Notice of Intent to Enroll in the

1 Permit. And so I think about that in the simplest terms  
2 like a fishing license, where Department of Fish and  
3 Wildlife will develop the terms of the license, and if you  
4 want to enjoy a fishing license, you go pay for one and you  
5 agree to comply with the conditions in the permit.

6           These General Permits that we issue to tend to be  
7 lower cost for the applicant. They tend to have a much  
8 shorter timeframe. And in fact, in some cases for  
9 expedited permits, we can issue permits within like a week  
10 or a month for some of our General Permits that have  
11 already been adopted. And they apply to a broad category  
12 of work. And so once you're working within General  
13 Permits, they tend to be familiar to the applicant.

14           If we could move to the next slide, please?

15           So we, as I mentioned, have prioritized the  
16 expedited application review and issuing of permits for  
17 clean energy projects, but we need your help to do that.  
18 We don't know where these projects are and there's a lot of  
19 moving parts. And so, again, we ask you to reach out early  
20 and often if you're in the planning stages.

21           When we're permitting a project, we consider  
22 potential discharges that are associated with the planning  
23 of the project, the construction of the project, the  
24 operation of the project, and then the ongoing maintenance  
25 of the project. And there's a general list of things that

1 we think about that can affect water quality below. I'm  
2 not going to go through them all, but if you take a look,  
3 it's a pretty diverse set of things that we need to be  
4 thinking about. And we also need to be thinking about them  
5 in terms of timing.

6           And so if we could move to the next slide,  
7 please?

8           So thinking about this specifically in terms of  
9 offshore wind projects, here's some types of activities  
10 that you should be thinking about that could involve  
11 permits from the Water Board.

12           In terms of pre-construction surveys, I know  
13 these are limited term activities, but we may issue permits  
14 for sounding activities or for sampling the benthic areas.  
15 So if you're going to be looking at sediment, seeing what's  
16 down there, before you get in and do that work, reach out  
17 to the Water Board and see if you're going to need a  
18 permit.

19           For construction work, again, it's a limited term  
20 activity. We do issue permits for work that occurs in  
21 water. And if you're working in the water, you almost  
22 certainly need a permit, so please reach out. If you're  
23 working near waters on activities that have the potential  
24 to discharge waste to the water, that's going to require  
25 what we call a Report of Waste Discharge, and there's a

1 link for that later in this presentation. And if you're  
2 going to be disturbing an area greater than one acre,  
3 there's a federal NPDES Permit called the Construction  
4 Stormwater General Permit that's probably going to apply to  
5 your construction activity.

6 In terms of operation and maintenance for the  
7 life of the project, we're looking at structure cleaning,  
8 repairs, or other in-water activity. So I imagine there's  
9 probably anti-fouling coatings on these things. There's  
10 probably maintenance that needs to occur in water. Talk to  
11 us before you do it. If you're going to be repairing  
12 transmission lines or other infrastructure, again, in water  
13 or in land, talk to us. And for the ongoing operation of  
14 many industrial facilities, we also require enrollment in  
15 our Industrial Stormwater General Permit on an ongoing  
16 basis.

17 If you can move to the next slide, please?

18 Here are some resources that talk more about the  
19 Water Boards, what we do, and what areas we issue permits.  
20 I encourage you to take a look at these.

21 And if you can move to the last slide?

22 The thing I really want you to take away today is  
23 my email and my phone number. Again, we are aware of these  
24 projects. We want to support them. If you have questions  
25 or concerns, please do not hesitate to reach out. And

1 that's how you get in touch with me. And I really  
2 appreciate your time and the opportunity to present today.

3 MR. BARTRIDGE: Great. Thank you, Phil. Much  
4 appreciated.

5 Next, we're going to move into the public comment  
6 period. So with that, I'll turn it over to Jack Bastida,  
7 who will facilitate public comments. Go ahead.

8 MR. BASTIDA: All right. Thank you, Jim.

9 The California Energy Commission is welcoming you  
10 to make comments at this time. That was a lot of  
11 information this morning, so I just wanted to let everyone  
12 know that there will be additional time for general  
13 comments later on in the afternoon at the end of the  
14 workshop. With that, though, let's get started on  
15 comments.

16 If you're joining via Zoom online or by phone,  
17 please let us know you'd like to make a comment by pressing  
18 the raise hand feature. And I already see a couple people  
19 raising their hands. If you're joining us by phone, you  
20 want to press star nine to raise your hand. I will look  
21 here, I see a few already. All right.

22 All right, Tom, I'm going to open your line.  
23 Please unmute on your end. Spell your name for the record,  
24 state any affiliation, and begin your comment. We are  
25 asking comments to be three minutes or less, and there will

1 be a timer on the screen. You should be able to begin,  
2 Tom.

3 MS. HAFER: Hi, this is actually Sheri. Yeah,  
4 this is the same Zoom link, so sorry about that.

5 Okay, so starting at the beginning, when they  
6 were discussing the benefits of the project, I think they  
7 need to include, also, the cost of operation and  
8 maintenance. You know, the maintenance is going to be --  
9 the cost is going to be astronomical. And I think the  
10 people of California need to realize that it's going to  
11 it's going to be a problem. And also the loss of jobs, the  
12 loss of fishing opportunity and those type of things.

13 So also about the, you know, 20 miles offshore  
14 not having impacts, I think that fishermen would argue  
15 that. There are several fisheries that are 20 miles  
16 offshore, especially the highly-migratory fisheries like  
17 Albacore, that are going to be devastated by the amount of  
18 sea space you're taking in the north part of California.

19 Also, there are a lot of birds and whales out 20  
20 miles. Ask any fishermen that and you'll hear that too.

21 The shipping issues are huge and I'm glad she  
22 pointed that out. And, you know, especially with this  
23 bridge being taken out by a ship, we see what happens when  
24 they lose propulsion. And I think we need to be aware of  
25 that when we put all these obstacles in the ocean that that

1 can happen.

2           You're increasing travel time for all these ships  
3 to go around, or are you having them go around? Are you  
4 going to have them go closer inside where there will be  
5 more conflicts with fishing? So that we need to know.

6           So the other thing I noticed with, you know, the  
7 guy that talked about the process, there's never a part  
8 where you say, okay, this is the part of the process where  
9 we incorporate all the input from the stakeholders, you  
10 know? Everything I say today, where is that going? You  
11 know, is it going anywhere? You know, are we just talking  
12 to the wind? I think we need an analysis of stakeholder  
13 input.

14           The REAT approach, I don't see an area where,  
15 with coordinating the government agencies, where public  
16 input is allowed. There needs to be more of that during  
17 the permitting process.

18           We were told by Fish and Game, they don't even  
19 have to go in front of the Commission to get some of these  
20 Scientific Collection Permits. You know, we've been trying  
21 to figure out, you know, along the way where we can, you  
22 know, speak about the permit in the permit process, and  
23 it's like a shell game. There's no way to figure it out,  
24 how the public can get involved with the permit process, so  
25 that needs to be better.

1           And then the whole thing with the state being \$74  
2 billion in debt and really unable to afford the port  
3 infrastructure and the grid connections, how can you even  
4 start the permit process?

5           Okay. Thank you.

6           MR. BASTIDA: Thank you.

7           All right, moving on here, I see Theral Golden,  
8 and I'm going to allow you to talk. Opening up your line.  
9 Please unmute on your end. Spell your name for the record,  
10 state any affiliation, and begin your comment. We are  
11 asking comments to be three minutes or less. There will be  
12 a timer on the screen. You should be able to unmute  
13 yourself now.

14           MR. GOLDEN: Got you. My name is Theral Golden.  
15 I'm a resident of West Long Beach, California. My name is  
16 spelled T-H-E-R-A-L G-O-L-D-E-N. I'm a member of the West  
17 Long Beach Association. And the proposed manufacturing  
18 facility is here and inside the Port of Long Beach.

19           This community is already disproportionately  
20 affected by negative health impacts of pollution itself.  
21 The manufacturing facility will increase, not decrease, in  
22 this particular area over the long period of time. We are  
23 currently being affected at a rate of the loss of life of  
24 approximately three people a day, more than three people a  
25 day as a matter of fact, and that is more than one mass

1 shooting in the South Bay communities of the 617  
2 communities that are disproportionately affected by the  
3 pollution.

4 Now is there a state agency or a group of state  
5 agencies that come together and see what the cumulative  
6 impacts of such a project in this particular area would do  
7 to the population and further bring more sickness, health  
8 and early death? That is one question should be answered  
9 before anything happens. The planning stage is likely if  
10 this does not happen and take place.

11 We are already paying a disproportionate price to  
12 the state of California for its economic growth. And we  
13 should not be forced to bear anymore. And these things are  
14 so outrageously one-sided. Now it is worse than, in my  
15 opinion, living in Jim Crow South. This makes no sense.

16 People's lives, the Public Resource Code allows  
17 for stiff regulations to be imposed in urban environments.  
18 This is in the center of the largest urban environment in  
19 the state of California and perhaps the United States of  
20 America. And more scrutiny must be given. Even you  
21 mentioned the CEQA and NEPA environmental documents, these  
22 documents are incomplete because there is no way to come  
23 back and see if the assumptions made at the beginning are  
24 holding fast through the complete operation.

25 We have a lot of work to do here. And we

1 understand the importance of going -- getting to increase  
2 electricity without fossil fuels. We applaud that. But at  
3 the same time, you're putting that entire burden on the  
4 body of this community, and that should be unacceptable.

5 Thank you.

6 MR. BASTIDA: All right. Thank you for the  
7 comment.

8 We're going to move on to Andrea. I see you have  
9 your hand up, Andrea. I'm going to open up your line.  
10 Please unmute on your end. Spell your name for the record,  
11 state any affiliation, and begin your comment. We're  
12 asking comments to be three minutes or less. There will be  
13 a timer on the screen and you may begin.

14 MS. LUEKER: Great. Good morning. Are you able  
15 to hear me?

16 MR. BASTIDA: Yes.

17 MS. LUEKER: Perfect, my name is Andrea Luker.  
18 It's A-N-D-R-E-A, last name is L-U-E-K-E-R. I am a Board  
19 Member of the REACT Alliance. REACT is a nonprofit,  
20 nonpartisan grassroots organization based in San Luis  
21 Obispo County, California. REACT Alliance opposes offshore  
22 wind.

23 Since the inception of REACT Alliance, we've been  
24 amazed at the growing number of folks who share our  
25 opposition and the many, many concerns about the proposed

1 offshore wind projects. Some specific points today.

2           First, the timing of this draft Strategic Plan is  
3 concerning since it appears the offshore wind companies are  
4 trying to push ahead with their site surveys. Trying to  
5 push ahead even though the impacts of the surveys using  
6 high decibel levels, along with the impacts from offshore  
7 wind construction in operation, are largely unknown and or  
8 have not been studied. The concept of the Central Coast of  
9 California residents being guinea pigs for this unknown  
10 unproven project really is home.

11           Admitted by one of your presenters last week  
12 during the section regarding environmental impact section,  
13 there remains hundreds of questions regarding the project  
14 impacts, yet no specific answers regarding the impacts are  
15 provided or quite frankly even known, yet full speed ahead  
16 on offshore wind.

17           Secondly, the level of public education regarding  
18 these projects is dismal and largely non-existent. The  
19 offshore wind companies in the Morro Bay lease area have  
20 canceled a number of opportunities for public interaction  
21 just over the last few weeks.

22           About three weeks ago, the REACT Alliance  
23 organization and over 175 folks protested the proposed  
24 projects during a march on the Morro Bay waterfront.  
25 Following the march, hundreds of other folks attended our

1 Save Our Seas event in Morro Bay. Many of those attending  
2 the Save Our Seas event took advantage of the wealth of  
3 information available on offshore wind.

4 The typical response from these people was, and I  
5 quote, "I had no idea about this project and what it  
6 entails and the potential impacts." Attendees were also  
7 shocked at the speed of how the projects were moving  
8 forward. It's important to know there is significant  
9 public opposition to these proposed projects.

10 In closing, it is most, most prudent to learn  
11 from all the problems and impacts to the environment  
12 encountered by our sisters and brothers regarding offshore  
13 wind in Europe and now on the East Coast. A halt needs to  
14 be put to these projects with a no project alternative.

15 Thank you.

16 MR. BASTIDA: Thank you.

17 All right, Cathie Buchanan, I see you've got your  
18 hand raised as well. I'm going to open up your line.  
19 Please unmute on your end. Spell your name for the record,  
20 state any affiliation, and begin your comment. Asking for  
21 comments to be three minutes or less. There will be a  
22 timer on the screen. And you should be able to unmute now.

23 MS. BUCHANAN: I'm Cathie Buchanan, C-A-T-H-I-E,  
24 B as in boy, -U-C-H-A-N-A-N. I'm with Bear River Band here  
25 in Loleta, California.

1           And I would just like to, my first comment, I  
2 would like to remind people that this is a money grab.  
3 There are conferences scheduled that literally advertise,  
4 if you are a manufacturer of offshore wind and you want to  
5 make a lot of money, this conference is for you to network.

6           The advertisement is aimed at privately owned  
7 companies traded on the stock market. You can look them up  
8 on NASDAQ or New York Stock Exchange. They mark up costs  
9 to meet their fictional profit margins. A private company  
10 marks up the cost by multiplier of at least three, meaning  
11 that if I have an hourly rate of \$10.00 an hour, then if I  
12 work on a client's project, they would charge \$30.00 an  
13 hour for that project. So that's how they're going to make  
14 a lot of money.

15           So my next comment is the alternatives are  
16 basically no alternatives that have that have been  
17 presented because they're all -- your alternatives are no  
18 offshore wind, offshore with mitigation, and offshore  
19 without mitigation. Are you seriously kidding me? This is  
20 not an appropriate alternatives analysis because there are  
21 no other alternative technologies considered, no other  
22 alternative pathways for the transmission. All it is, it's  
23 100 percent offshore wind. There is nothing else that has  
24 been considered for electricity generation.

25           There continues to be no outreach to tribes,

1 federally recognized and non-federally recognized, and this  
2 is proven by the stakeholders list that was mentioned. It  
3 did not include tribal communities. So every single time  
4 I've been to a meeting, the tribes have always stated that  
5 they have been kept out of the process. The tribal  
6 communities are stakeholders due to, basically, you're on  
7 tribal land no matter where you are.

8           The comment of decreased land usage by offshore  
9 wind is also inaccurate because where is the copper going  
10 to come from? Where is the steel going to come from?  
11 Where are the other metals going to come from that are  
12 going to build these big, huge monstrosities? The mines  
13 that are needed are here in the state of California. There  
14 is a proposal to increase the mining.

15           There is the loss of acres through the mountains  
16 for the transmission lines. There is loss of coastal  
17 shallow systems, when the transmission lines come over from  
18 the coast, from the water, and come onto land.

19           So there is a lot that you guys are stating. I  
20 mean, where is the CEQA documentation that supports  
21 offshore wind is the absolute best solution to vertical  
22 access turbines, to upgrading solar panels, to promoting  
23 geothermal and establishing waste-to-energy plants that are  
24 clean and can capture CO2? Where is the analysis that  
25 offshore wind is the absolute best alternative to the

1 diversification of energy generation?

2 MR. BASTIDA: Thank you, Cathie.

3 I'm going to move on to Molly here. I see  
4 Molly's got her hand raised.

5 Molly, I'm opening up your line. Please unmute  
6 on your end. Spell your name for the record. State any  
7 affiliation and begin your comment. We're asking comments  
8 to be three minutes or less. There will be a time on  
9 screen. And you should be able to unmute yourself now  
10 here, Molly.

11 MS. CROLL: Thank you. This is Molly Croll with  
12 the American Clean Power Association. We're a clean energy  
13 trade association representing diverse technology  
14 developers including the first five offshore wind  
15 leaseholders in California. I'd like to comment on the Sea  
16 space presentation as well as permitting presentations from  
17 today.

18 First, on sea space, ACPA California appreciates  
19 the CEC's efforts and approach to identifying new Sea  
20 space. But as Ms. Mullaney said, industry is predicting a  
21 higher capacity buildout in the lease areas at roughly ten  
22 gigawatts in the first five leases. Based on industry  
23 analysis and leaseholder plans, we believe that a higher  
24 density factor of seven megawatts per square kilometer  
25 should be assumed. This adjustment is important as it has

1 significant impacts on the total sea space required.

2           Also recognize that the total sea space  
3 identified in the Strategic Plan, up to 4,600 square miles,  
4 may mislead stakeholders into thinking this quantity of sea  
5 space will ultimately be fully developed when, in fact, a  
6 much smaller quantity is needed, and this is just the start  
7 of a process for an intergovernmental task force with BOEM  
8 to review new areas.

9           Third, industry generally does not believe that  
10 sea space with water depths beyond 1,500 meters is  
11 technically or economically feasible. The existing leases  
12 are in waters of 1,300-meter water depth, which is the  
13 deepest water for planned floating offshore wind  
14 installations globally at this time. And development in  
15 areas twice that water depth would require at least double  
16 the quantity of mooring cables to secure platforms to the  
17 seafloor, which would significantly increase costs, in  
18 addition to the increased costs in transportation and  
19 electric cables routed to shore.

20           We note that the 20 to 25 mile from shore range  
21 already has far -- has already substantially reduced the  
22 amount of co-occurrence with onshore wind with species,  
23 habitats, and other ocean uses, and some shifting new  
24 developments even farther from shore may have declining  
25 benefits. So we'd recommend focusing on the eastern

1 sections of the North Coast sea space identified to find  
2 about 2,000 to 3,000 square kilometers as an extent.

3           On permitting, we support the recommended  
4 coordinated permitting model in the draft Strategic Plan,  
5 as well as the suggestion that the state anchor this plan  
6 to BOEM's process, but we would like to see the CEC  
7 complete the permitting roadmap requirements of AB 525 with  
8 a specific set of timeframe goals and milestones for the  
9 myriad of permitting and environmental reviews to be  
10 completed for each project. Without it, there will be no  
11 benchmark or tool to ensure efficient and on-time  
12 permitting. As seen on the East Coast, permitting delays  
13 and uncertainty can significantly compromise offshore wind  
14 project execution due to changing working conditions over  
15 the delayed timeframe.

16           In addition, the final Strategic Plan, we'd like  
17 to see a clear process for interagency coordination, not  
18 just an intention or recommendation to coordinate. This  
19 should include development of MOUs, schedules, permitting  
20 checklists, and plan coordination.

21           Thank you.

22           Thank you so much, Molly.

23           MR. BASTIDA: All right, moving on, I see Dan  
24 also has his hand up.

25           Dan, I'm going to open up your line. Please

1 unmute on your end. Spell your name for the record, state  
2 any affiliation, and you can begin your comment. We're  
3 asking for comments to be three minutes or less. There  
4 will be a timer on the screen, and Dan, you should be  
5 allowed to unmute yourself now.

6 MR. JACOBSON: Jack, I'm going to assume, just  
7 because there are many Dans in this world, that you mean  
8 Dan Jacobson, so --

9 MR. BASTIDA: Yes.

10 MR. JACOBSON: Okay.

11 MR. BASTIDA: Yes, go ahead.

12 MR. JACOBSON: Thank you very much. My name is  
13 Dan Jacobson. I'm a senior advisor to Environment  
14 California.

15 For the past 25 years, Environment California has  
16 been working to expand our use of solar power both on homes  
17 and, with the Renewable Portfolio Standard, the use of  
18 onshore wind power through the Renewable Portfolio  
19 Standard, and countless other programs that by working with  
20 many other environmental groups, environmental justice  
21 groups, and labor unions have led to the good standing that  
22 we have now in California, where we're generating  
23 significant amounts of our electricity from clean energy  
24 sources. And on any given day, including, I think, 17 of  
25 the past 20 days, at some point, we've been generating 100

1 percent of our electricity from clean energy sources.

2           We're just now at a point where the next option  
3 that we have is to look at offshore wind. And so  
4 Environment California was a sponsor of AB 525, the bill by  
5 Assemblymember Chiu, that helped the California Energy  
6 Commission to set goals. And we've been working for years  
7 with the California Energy Commission, and thanks to all  
8 the different state agencies for the work that they're  
9 doing on that.

10           Unfortunately, climate change is having an  
11 outsized impact on our environment and our health. And  
12 offshore wind is not the only answer to climate change, but  
13 it's a critical answer to helping to stave off the worst  
14 impacts of climate change.

15           I just want to say a couple of points really  
16 quickly.

17           The first is that I was really happy see all the  
18 agencies that we're presenting. And I want to encourage  
19 them to be able to work together to ensure that we have the  
20 best process going forward, but we also have the speed  
21 that's needed. We talked a little bit about permitting  
22 here. We support programs that make sure that there's no  
23 delays in permitting, and so we need that to work quickly  
24 and in coordination with all the state agencies that are  
25 out there.

1           We need to look, also, for ways that prove that  
2 offshore wind is going to help us reduce our rates overall  
3 in the long run so that we can get out of the program that  
4 we're in right now. And that's done through better supply  
5 chain work, through better permitting programs, and through  
6 more efficiency in the energy generation that we have here  
7 in the state, so we strongly support that.

8           The next thing is that we need to also talk about  
9 how we're going to retire fossil fuel power plants as we  
10 expand offshore wind. We shouldn't be trying to do both  
11 things at the same time. We can't have fossil fuel energy.  
12 We need to replace it with clean energy, and that should be  
13 a part of this.

14           And then I also think and thank all the different  
15 agencies that were talking about community benefit  
16 agreements. That's going to be critical going forward  
17 because we have to ensure that all communities are getting  
18 benefits as we move toward offshore wind.

19           Thank you very much.

20           MR. BASTIDA: Great. Thank you so much, Dan.

21           All right, I'm going to reset here, and I see Ken  
22 and Linda Bates has their hand up. I'm going to unmute  
23 your line and I'll open up your line. Please unmute on  
24 your end. Spell your name for the record, state any  
25 affiliation, and begin your comment. We're asking for

1 comments to be three minutes or less. There will be a  
2 timer on the screen. And, oh, they dropped out.

3 So we're going to move on to Channel Wind.

4 Channel Wind, you should be able to speak now.

5 MR. REED: Okay. Can you hear me okay?

6 MR. BASTIDA: Yes.

7 MR. REED: Great. That's the name of the company  
8 affiliation I'm with? My name is John Reed, J-O-H-N  
9 R-E-E-D, and we are a company in North Coast of California,  
10 trying to solve the biggest challenges that many of the  
11 people on the call today talked about.

12 And the previous commenter, Dan, talked about  
13 efficiency. And so, our plan is to try to work with  
14 developers to lower cost of installation by creating a  
15 floating port facility that will build the final wind  
16 turbine and be a lot closer to the communities, increase  
17 workforce, reduce environmental impacts to land, bring the  
18 systems online a lot sooner.

19 And I'm so glad to hear that there's a free list  
20 of communities and agencies that we need to go talk to,  
21 because we will be operating in the wild, but not as far  
22 out as the wind turbines. And looking forward to reaching  
23 out to all those groups and satisfying everybody's concerns  
24 and looking holistically.

25 One of the things that I've always remembered

1 is, is that if we didn't do something new and just do the  
2 status quo, the previous commenter said, we would just  
3 continue to be worse. And so finding new solutions,  
4 finding new ways to do things will open up the door to more  
5 creativity and eventually a better energy system that won't  
6 require so much emission, the work on things that will help  
7 many communities around the world, so they don't continue  
8 to be our emission-type (indiscernible) that we do here in  
9 the United States.

10           People probably don't realize there's over 6,000  
11 oil rigs in the Gulf of Mexico. And we did that, and we're  
12 all driving cars and living the good life, building houses  
13 with fossil fuels. People on this call probably have a  
14 phone that required fossil fuels.

15           So if we want to look at the future and give  
16 everybody a chance to satisfy their creative drives, we  
17 should support things like this.

18           And again, this is John Reed, Channel Wind.  
19 Reach out to us if you want to help reduce cost and we have  
20 new, more efficient piece of the supply chain.

21           Thank you so much for your time.

22           MR. BASTIDA: Thanks, John.

23           All right, I see Ken and/or Linda Bates is back  
24 on. So sorry if I might've clicked off of you. I'm going  
25 to click on you to allow you to talk. Please unmute on

1 your end. Spell your name for the record, state any  
2 affiliation, and then begin your comment. We're asking for  
3 comments to be three minutes or less and there will be a  
4 timer on the screen. And you should be able to talk now.

5 MR. BATES: Okay, I think we're up.

6 MR. BASTIDA: Okay. You are.

7 MR. BATES: Yeah. Good morning -- good  
8 afternoon. This is Ken Bates, K-E-N B-A-T-E-S. I'm the  
9 Executive Director of the California Fishermen's Resiliency  
10 Association, which is a 501(c)(6) nonprofit composed of  
11 fishermen's associations up and down the California coast.  
12 Recently, we submitted about a 20 page comment letter  
13 concerning AB 525, but I'd just like to bring up just a  
14 couple of things for general discussion instead of getting  
15 too far in the weeds.

16 First of all, you know, we have to -- everybody  
17 should understand that wind energy is extractive, it's not  
18 free. And so far we've seen very little mention of the  
19 negative impacts to the California current system by  
20 decreased upwelling due to wind energy extraction, you  
21 know? And that is the system that the entire West Coast  
22 relies on for having productive fishing grounds.

23 The second thing is, is that deep water wind is  
24 completely experimental at this point. There's been no  
25 discussion, you know, public discussion about making the

1 five lease areas prototype projects and requiring these  
2 projects to produce power to the grid for five years before  
3 we discuss additional West Coast leases. And again, you  
4 know, this is an experiment.

5 Included in that is that, that has not yet --  
6 I've not yet seen a discussion that talks about the  
7 possibility of these projects ever becoming carbon neutral.  
8 You know, when you look at the mining, the transportation  
9 costs, the fabrication costs, what it's going to take to  
10 maintain and decommission these things, we haven't seen any  
11 numbers.

12 And lastly, and this one concerns me, it seems to  
13 be becoming clear that there's no level of cumulative  
14 negative impact that would curtail this effort.

15 So those are my comments. Thank you for your  
16 time and we'll go from there. Thank you.

17 MR. BASTIDA: Thank you, Ken.

18 All right, again, if anybody has any comments I'm  
19 seeing still a couple more hands raised, but just want to  
20 remind people, you could press the open-hand feature at the  
21 bottom of your screen or you can join us if you're on phone  
22 by pressing star.

23 (Background Zoom conversation)

24 MR. BASTIDA: Sorry about that. Forgot to mute  
25 you.

1 All right, Pauline, I see you have your hand  
2 raised. I'm going to allow you to talk. I'm opening up  
3 your line. Press star -- I'm sorry, you can spell your  
4 name for the record, state any affiliation, and begin your  
5 comment. We're asking for comments to be three minutes or  
6 less. There will be a timer on the screen. And Pauline,  
7 you should be able to unmute yourself now.

8 MS. SEALES: My name is Pauline Seales, that's S-  
9 E-A-L-E-S. I'm a leader of Santa Cruz Climate Action  
10 Network. I'm also involved with Climate Action California.  
11 Both of these are volunteer organizations. I'm a retired  
12 science teacher.

13 I went to the conference last May in Sacramento  
14 and learned quite a lot there, and still learning. I am  
15 not an expert. Obviously, some of the callers have no  
16 understanding of how incredibly serious the climate crisis  
17 is and that it is accelerating.

18 Offshore wind is not the one and only way out of  
19 this. It's an important way. And for that reason, because  
20 the crisis is so bad, because everything else is also being  
21 investigated, we need to support this as much as we  
22 reasonably can.

23 And so I support the plan with mitigation,  
24 because we should be, of course, not damaging the marine  
25 sanctuaries, the marine protected areas. I'm also a docent

1 with the marine sanctuaries. But to think that just  
2 because possibly a couple of sea creatures might  
3 occasionally get hurt compared to the damage that is going  
4 to happen to millions and millions of people and uncounted  
5 species if we let climate change continue unchecked?

6           And we aren't all going to turn everything off.  
7 I don't suppose the people who called a living by peddling  
8 a bike in their living room to run the television. We're  
9 all using a lot of electricity and increasing electricity  
10 to get off gasoline and natural gas.

11           So thanks for this. I have learned quite a lot  
12 and I'm going to be updating my slide presentation to local  
13 people. Thanks for what you are doing. Certainly, we need  
14 to be cautious, but we need to proceed with all reasonable  
15 speed.

16           Thank you.

17           MR. BASTIDA: All right. Thank you, Pauline.

18           We'll see who else we have here.

19           Azsha, I'm going to open your line. Please  
20 unmute on your end. Spell your name for the record, state  
21 any affiliation, and begin your comment. We're asking  
22 comments to be three minutes or less. There will be a  
23 timer on the screen. And you should be able to talk now.  
24 Azsha, let's see if I can unmute you.

25           MS. HUDSON: Can you hear me?

1 MR. BASTIDA: Yes, yes.

2 MS. HUDSON: All right, sorry about that. So I'm  
3 Azsha Hudson, A-Z-S-H-A, Hudson, H-U-D-S-O-N. I am with  
4 the Environmental Defense Center, a public interest law  
5 firm that works to protect and enhance the local  
6 environment through education, advocacy, and legal action.

7 We believe this document fulfills the intent of  
8 AB 525 and appreciate all the hard work and effort that  
9 went into the draft Strategic Plan. We appreciate the  
10 inclusion of many of our previous comments, and I will give  
11 a few refining points here.

12 The identified sea spaces in the North Coast will  
13 largely be in the path of proposed shipping lanes  
14 identified by the U.S. Coast Guard as stated in the  
15 Strategic Plan. As explained in the report, moving the  
16 shipping lanes is not a simple solution as it could  
17 increase shipping and transportation costs. More  
18 specificity and planning are needed on how to mitigate  
19 exorbitant costs and impacts to the shipping industry,  
20 commercial and recreational fishing, and local coastal  
21 counties.

22 The second phase of the sea space analysis that  
23 assess potential impacts on coastal resources and other  
24 data utilized existing data that needs to be incorporated  
25 when the new data comes in. An example of this is the

1 whale biologically important areas from 2015 were used in  
2 the analyses. However, the 2024 BIAs have been released  
3 and so those should be included going forward.

4 We also want to just state that suitable sea  
5 space analysis should consider state biodiversity goals  
6 under 30 by 30 as we look to protect more than about just  
7 under 15 percent more of California coastal waters.

8 Thank you again for all the work you guys done on  
9 this plan. And that's my comments. Thank you.

10 MR. BASTIDA: Great. Thank you so much.

11 All right, restart that. And I see Steve has his  
12 hand up and I will let you talk. I'm going to open your  
13 line. Please unmute on your end. Spell your name for the  
14 record, state any affiliation, and begin your comment.  
15 We're asking comments to be three minutes or less. There's  
16 a timer on the screen. And Steve, you should be able to  
17 unmute yourself now.

18 MR. SCHEIBLAUER: Yes. Thank you. Can you hear  
19 me?

20 MR. BASTIDA: Yes.

21 MR. SCHEIBLAUER: Yes. My name is Steve  
22 Scheiblaue. Last name is spelled S-C-H-E-I-B-L-A-U-E-R.  
23 And I just have two quick comments.

24 First, going back to the slide quite a while ago  
25 that was a map of fisheries distribution, I have to say

1 that it really wasn't an accurate slide, that there are, in  
2 fact, numerous fisheries, important fisheries that exist  
3 out in the seascape areas. And they include albacore,  
4 swordfish, and black cod just among others.

5 And I can say that both the Humboldt area  
6 fishermen and the Central Coast area fishermen have already  
7 produced with the cooperation of the Ocean Protection  
8 Council, distribution maps for fishing, and those maps  
9 should be referenced for more accurate information.

10 And then secondly, on the State Lands Commission  
11 presentation, which I appreciated, I understand that the  
12 Commission does have permit regulations and authority for  
13 the site assessment and survey activities. I would also  
14 hope that there's going to be accurate -- or I'm sorry,  
15 sufficient investment in actively monitoring what these  
16 contractors actually produce in terms of sound as they do  
17 their survey work. And associated with that, that there's  
18 an effective enforcement mechanism to stop that process if  
19 it exceeds the boundaries. As many may be aware, there  
20 have been issues on the East Coast with contractors greatly  
21 exceeding their permitted sound levels.

22 Thank you. That's all.

23 MR. BASTIDA: Great. Thank you so much for your  
24 comments.

25 All right, going to move on to Nancy. I see

1 Nancy has her hand raised. I'm going to open up your line.  
2 Please unmute on your end. Spell your name for the record,  
3 state any affiliation, and begin your comment. We're  
4 asking for comments to be three minutes or less. There  
5 will be a timer on the screen. Nancy, you should be able  
6 to unmute yourself now. Let me see if I can unmute on my  
7 end.

8 MS. KIRSHNER-RODRIGUEZ: Am I unmuted now?

9 MR. BASTIDA: Yeah. Go ahead.

10 MS. KIRSHNER-RODRIGUEZ: Thank you. Nancy  
11 Kirshner-Rodriguez with the Oceanic Network. I'm just  
12 going to make brief comments today to echo what others have  
13 said.

14 I was extremely pleased to see the broad  
15 interagency presentations and engagement on this massive  
16 undertaking of offshore wind for California and the West  
17 Coast. The Oceanic Network is an organization of members.  
18 We represent entities across the supply chain, workforce  
19 organizations, and many others. We bring people together  
20 for dialogue with government and to focus on building a  
21 domestic supply chain and creating an offshore wind  
22 industry that is valued and is able to help us to move this  
23 industry and this renewable energy forward.

24 We appreciate the passage and implementation  
25 efforts of AB 525 and we look forward to the upcoming years

1 of work to bring floating offshore wind and the  
2 opportunities that we believe it will create for many  
3 Californians to see this really amazing industry go  
4 forward.

5 We will be providing full comments before the  
6 April 22nd deadline. And we just thank you for the  
7 continued efforts.

8 MR. BASTIDA: Great. Thank you so much, Nancy.

9 All right, I'm going to restart the timer here.

10 I see Sarah has her hand up. I'm going to open  
11 up your line, Sarah. Please unmute on your end. Spell  
12 your name for the record, state any affiliation and begin  
13 your comment. We're asking for comments to be three  
14 minutes or less. There will be a timer on the screen. And  
15 Sarah, you should be able to unmute yourself now.

16 MS. XU: Yeah, good afternoon. My name is Sarah  
17 Xu. I'm the Senior Policy Associate at Brightline Defense.  
18 My name is spelled S-A-R-A-H, last name is spelled X, as in  
19 x-ray, -U, as in uniform.

20 Thank you to all the staff at the California  
21 Energy Commission, other state agencies, and the BOEM staff  
22 that presented today. We recognize that there's an  
23 enormity and complexity with offshore wind with a variety  
24 of unknowns at this time.

25 We look forward to submitting further written

1 comments, but in response to some of the information  
2 presented today, we do think that there's an importance for  
3 further clarity on the recommendations and how ocean REAT  
4 and the REGP will coordinate clarity on next steps and  
5 sequencing, especially opportunities for public comments  
6 and public engagement would be very helpful and great to  
7 know in the permitting process. As well as a focus in  
8 the -- the AB 525 Strategic Plan should include more of a  
9 focus on the state powers and discussion of regulatory  
10 authority and what other agencies, either federal or local  
11 would need to engage to see the offshore wind permitting  
12 process continue.

13 In kind of thoughts around climate change, we are  
14 excited to see some discussion at SB 100 in the Strategic  
15 Report [sic] and believe a further discussion of  
16 opportunities and challenges for offshore wind and other  
17 sources of renewable energy should be included in the 525  
18 draft, as well as a discussion of the cost involved,  
19 including cost to rate payers, and the cost of -- the high  
20 costs of other technologies as well.

21 Thank you to the staff again for including  
22 discussion recommendations, especially with public  
23 engagement to underserved communities. And we look forward  
24 to the implementation of those recommendations and look  
25 forward to submitting further comments to this process.

1 Thank you.

2 MR. BASTIDA: Great. Thank you so much.

3 Seeing one more hand here with Cathie Buchanan  
4 from the Bear River Band. I'm going to unmute your line.  
5 Please spell your name for the record. State any  
6 affiliation and begin your comment. We're asking for  
7 comments to be three minutes or less. There will be a  
8 timer on the screen. And Cathie, you should be able to  
9 unmute yourself.

10 MS. BUCHANAN: Cathie Buchanan, C-A-T-H-I-E, B,  
11 as in boy, -U-C-H-A-N-A-N with the Bear River Band here in  
12 Loleta, California. I am the Environmental and Natural  
13 Resources Director.

14 And I have a comment to make about the people who  
15 seem to not like the opposition towards the wind, offshore  
16 wind, but please do not insult our intelligence by assuming  
17 that those of us who are opposed to offshore wind do not  
18 understand the need to find reliable and truly renewable  
19 energy sources. We here on the North Coast see the  
20 encroaching ocean every single day. We do understand the  
21 emergency that climate change has brought us.

22 Another aspect I would like to mention is, again,  
23 there is no discussion of the electromagnetic field that  
24 will be generated in the ocean waters from high, high, high  
25 voltage lines suspended in salt water. When I was at HSU,

1 me and my classmates, we designed an electromagnetic field  
2 using a small 9-volt battery to deter bat rays from coming  
3 into oyster beds, a 9-volt battery. You guys are talking  
4 about megavolts going through our ocean in saltwater, which  
5 is a great conductor of electricity.

6           So the aquatic life, all the aquatic life that I  
7 know of that swims, not the snails or mollusks or anything  
8 like that, but the life that does swim around, they do use  
9 the Earth's electromagnetic field to find their way.

10           There are also numerous species that can feel a  
11 nanovolt. That is a 0.00000001 volt. And you're talking  
12 about these cables that are going to go up and down the  
13 coast of California, including also Southern Oregon and  
14 Alaska. And then there's also mention of increasing the  
15 number of turbines after you've already built the first  
16 nine that are proposed.

17           So how many of these huge megavolt cables are  
18 going to be suspended in the water? How many linear feet,  
19 which is going to probably come into how many miles of  
20 cables are going to be suspended in saltwater up and down  
21 the coast in the migratory pathway of our whales, our  
22 dolphins, our salmon, our steelhead, our lampreys, our  
23 sturgeon, our crabs, and many more? There is still no talk  
24 about the electromagnetic field.

25           Thank you.

1 MR. BASTIDA: Thank you for your comments.

2 All right, I'm not seeing any more comments right  
3 now with hands raised. So with that, giving it one more  
4 second here just to make sure.

5 Not seeing anything else, so back to you, Jim.  
6 That concludes our public comment period at this time.

7 MR. BARTRIDGE: Good. Thank you, Jack.

8 And thank you to everyone for your presentations  
9 and input this morning.

10 We're a little bit ahead of schedule, but I want  
11 to stick with the agenda, so let's go ahead and break for  
12 lunch. A reminder, we will have additional public comments  
13 after our presentations this afternoon. So we'll break  
14 from lunch and we'll be back at two o'clock. Enjoy your  
15 lunch and we'll see you then. Thank you.

16 (Off the record at 12:28 p.m.)

17 (On the record at 2:00 p.m.)

18 MR. BARTRIDGE: Okay, well, here we go. Good  
19 afternoon. I'm Jim Bartridge with the Energy Commission  
20 Siting, Transmission, and Environmental Protection  
21 Division. Welcome to the afternoon session of today's  
22 workshop, which is focused on transmission. Following our  
23 afternoon presentations, we'll finish with another comment  
24 period, as we had this morning.

25 Next slide, please.

1           We'll start this afternoon with a presentation by  
2 Lorelei Walker from the Energy Commission on Transmission  
3 Technologies and Planning from Chapters 8 and 9 of the  
4 Offshore Wind Strategic Plan. That will be followed by  
5 presentations from the Schatz Energy Research Center on the  
6 Northern California and Southern Oregon Offshore Wind  
7 Transmission Study and the California Independent System  
8 Operator on Transmission Planning.

9           So, Lorelei, if you're ready, go ahead, take it  
10 away.

11           Next slide, please.

12           MS. WALKER: Thanks, Jim. I'm Lorelei Walker, an  
13 Offshore Energy Analyst in the Siting, Transmission, and  
14 Environmental Protection Division here at the CEC. Today,  
15 I'll be presenting on the Draft Strategic Plan Chapters 8  
16 and 9, covering transmission technologies, interconnection,  
17 and planning.

18           Next slide.

19           Relating to transmission, AB 525 requires the  
20 California Energy Commission to consult with California  
21 Public Utilities Commission, or CPUC, and the California  
22 Independent System Operator, also known as the California  
23 ISO or CAISO. We were also required to assess transmission  
24 investments and upgrades necessary to support California's  
25 2030 and 2045 offshore wind planning goals, assess the

1 existing transmission infrastructure and capacity, and  
2 assess relevant costs for network upgrades and subsea  
3 transmission to support offshore wind energy development.

4 Next slide.

5 The CEC utilized numerous analytical inputs for  
6 our transmission chapters, including the California Public  
7 Utilities Commission Integrated Resource Plan, or IRP, the  
8 California Independent System Operators Transmission  
9 Planning Process, or TPP, multiple offshore wind studies  
10 published in recent years by the Schatz Energy Research  
11 Center. Additionally, the CEC contracted the Schatz Energy  
12 Research Center's Northern California and Southern Oregon  
13 Offshore Wind Transmission Study, which staff members will  
14 be presenting on shortly. Also, the CEC contracted with  
15 Guidehouse to conduct an offshore wind transmission  
16 technologies assessment.

17 Next slide.

18 An overview of Chapter 8 topics discussed include  
19 transmission technologies for interconnecting offshore wind  
20 projects, current and emerging transmission technologies,  
21 offshore wind interconnection concepts, existing North  
22 Coast and Central Coast transmission systems, and finally,  
23 conclusions and recommendations on transmission  
24 technologies and alternatives.

25 Next slide.

1           At a foundational level, we know that  
2 transmission and interconnection infrastructure are needed  
3 to transport electricity generated from offshore wind  
4 projects and connect them to the larger transmission  
5 system. This figure shows a simplified version of an  
6 offshore wind transmission infrastructure layout from  
7 offshore generation to onshore distribution.

8           On the far left, there are offshore wind turbines  
9 in the water that are connected via inter-array cables to  
10 the offshore substation. Export cables run from the  
11 offshore substation to the onshore substation. Once  
12 onshore, the electricity will flow from the substation to  
13 the greater electric grid and local communities.

14           Just a note that even though the offshore wind  
15 turbines shown in this figure are fixed bottom like those  
16 off the East Coast and California will utilize floating  
17 offshore wind turbines, the transmission infrastructure  
18 remains the same.

19           Next slide.

20           In the layout that we just saw, the technologies  
21 assessed within the Strategic Plan are only within the  
22 offshore substation to onshore substation portion as  
23 highlighted in the diagram on this slide. The California  
24 Energy Commission assessed the status and cost of offshore  
25 wind related transmission technologies, including high

1 voltage alternating current, or HVAC, and high voltage  
2 direct current, HVDC, export cables, floating offshore  
3 substation platforms, onshore converter or transformer  
4 stations, and other related electrical components.

5 Next slide.

6 In addition to component technologies, the  
7 Strategic Plan also assessed the status and costs of  
8 offshore wind-related meshed grid transmission and  
9 interconnection layout concepts. Most offshore wind  
10 projects to date are connected to shore radially, as shown  
11 in the top left box of the figure. They use point-to-point  
12 transmission lines that export power directly from offshore  
13 to onshore. More networked interconnection concepts, such  
14 as shared substations, meshed grids, and offshore  
15 backbones, can increase reliability and redundancy.

16 From the figure on the slide, you can see that  
17 different offshore wind layouts require different amounts  
18 of inner array and export cables. Fewer cables reduce  
19 environmental impacts and costs.

20 Next slide.

21 The challenge for transmission in the North Coast  
22 is that the existing system is relatively limited  
23 consisting of 60 and 115 kilovolt, kV, facilities serving  
24 local loads. In addition, upgrades to existing 115 kV  
25 lines and new transmission infrastructure will be needed to

1 connect to the larger transmission system that runs north  
2 and south through the state along I-5.

3 In contrast, the Central Coast has a fairly  
4 robust transmission system and the retirement of power  
5 plants in the area frees up transmission that can help to  
6 serve offshore wind. But additional transmission  
7 infrastructure will be needed to accommodate the full  
8 buildout of the Central Coast offshore wind resource.

9 Next slide.

10 The following conclusions and recommendations  
11 support technology development and alternatives assessment  
12 to effectively plan for offshore wind transmission. Some  
13 key transmission technologies are still emerging and not  
14 yet commercially available, including dynamic export cables  
15 that float rather than run along the seabed, high-capacity  
16 cables, floating substations, and DC breakers. Emerging  
17 technologies will need continued investment to bring them  
18 to market.

19 Continued assessment of transmission  
20 interconnection concepts and phased approaches to  
21 transmission development are needed. Fewer cables and  
22 transmission lines can reduce environmental impacts and  
23 costs. Large investments in transmission upgrades and new  
24 transmission infrastructure are needed to deliver offshore  
25 wind generation.

1           Potential transmission pathways for the North  
2 Coast will require additional detailed corridor planning.  
3 Transmission recommendations include continue assessing  
4 transmission alternatives for the North and Central Coasts  
5 offshore wind development to meet the offshore wind  
6 planning goals. Consider phased approaches to transmission  
7 development that examine needs, costs, and benefits in both  
8 the short-term and long-term.

9           Next slide, please.

10           Chapter 9 discusses transmission planning  
11 processes, corridor planning, and interconnection issues.

12           Next slide.

13           AB 525 finds that California must initiate  
14 proactive long-term transmission now to ensure that  
15 transmission is available when the offshore wind generation  
16 is ready to come online.

17           California has a robust transmission planning  
18 process under the Joint Agency Memorandum of Understanding,  
19 or MOU, that was recently updated to tighten the linkages  
20 between the CEC's Integrated Energy Policy Report, or IEPR,  
21 and SB 100 activities, the California Public Utility  
22 Commission's IRP, and the California ISO's TPP and 20-year  
23 outlook. Increasing amounts of offshore wind are being  
24 included in the resource portfolios for the TPP. The  
25 California ISO will present on the transmission planning

1 process and interconnection later this afternoon.

2 Ongoing transmission planning, including targeted  
3 analysis of alternative transmission pathways, is necessary  
4 to inform infrastructure decisions for offshore wind. The  
5 CEC, through the Schatz Study, has initiated regional  
6 planning with Southern Oregon and is also participating in  
7 the Department of Energy's West Coast Offshore Wind  
8 Transmission Study being conducted by PNNL, the Pacific  
9 Northwest National Laboratory.

10 Additional regional planning will be necessary to  
11 ensure the benefits of offshore wind can be shared  
12 throughout the Western Interconnection. An inter-regional  
13 approach to transmission development could provide economic  
14 advantages by leveraging existing transmission assets and  
15 providing other benefits such as increased resiliency and  
16 reliability throughout the west.

17 Next slide.

18 Transmission development is challenging with long  
19 linear facilities crossing many land use types and  
20 jurisdictions. The CEC has engaged in successful landscape  
21 level transmission planning efforts through the Renewable  
22 Energy Transmission Initiative, RETI, the Desert Renewable  
23 Energy Conservation Plan, DRECP, and other corridor  
24 planning efforts. Corridor planning efforts guide  
25 responsible energy infrastructure development and will

1 continue to be an important tool to help meet the state's  
2 climate and clean energy goals.

3           This landscape-level approach identifies a wide  
4 range of potential constraints and conflicts including  
5 environmental sensitivities, tribal and cultural resources,  
6 land uses and other considerations. By locating renewable  
7 transmission projects in appropriate areas, potential  
8 environmental impacts can be reduced. Permitting costs and  
9 time frames can be minimized resulting in better and more  
10 timely projects.

11           Next slide.

12           Corrective planning will be needed to bring  
13 transmission projects online to meet California's offshore  
14 wind planning goals. Conducting detailed studies for  
15 corridors, routes, and rights of way, both overland and  
16 subsea, and community engagement can provide valuable input  
17 to the planning processes and regulatory decisions for  
18 transmission projects.

19           Landscape-level planning can evaluate potential  
20 corridors and associated environmental and land use  
21 conflicts not historically addressed in existing  
22 transmission planning processes.

23           Assessing transmission needs for host communities  
24 and other rural communities along transmission routes can  
25 help address reliability and equity issues.

1 Recommendations include foster regional bulk transmission  
2 planning to support West Coast offshore wind development  
3 that can benefit the Western Interconnection and identify  
4 and prioritize alternative points of interconnection that  
5 limit the number of landfall sites and minimize  
6 environmental impacts and long-run costs.

7           That's the end of our transmission overview  
8 presentation.

9           Back to you, Jim.

10          MR. BARTRIDGE: Thank you, Lorelei.

11          Okay, well, next up we have a presentation from  
12 Arne Jacobson and Jim Zoellick from the Schatz Energy  
13 Research Center on a recent transmission study funded by  
14 the Department of Defense Office of Local Defense Community  
15 Cooperation.

16          Go ahead, Arne and Jim.

17          MR. JACOBSON: Thank you, Jim, and pleasure to  
18 have an opportunity to present. My colleague Jim Zoellick  
19 will be the primary presenter for our team today. I'll  
20 kick things off. So what we'll be presenting today focuses  
21 on the analysis that our team has led related to  
22 understanding multiple dimensions of transmission as it  
23 relates to the potential for offshore wind development in  
24 Northern California and Southern Oregon.

25          Next slide.

1           And I just wanted to start by first acknowledging  
2 sponsors, and also partners associated with this effort.  
3 This work was done under a contract with the California  
4 Energy Commission and with funding support from the  
5 Department of Defense through the Office of Local Defense  
6 Community Cooperation. I'm really grateful for that  
7 support. It also involves collaboration and support from  
8 the Oregon Department of Energy.

9           And on the analytical side, this was a team  
10 effort involving our team at the Schatz Energy Research  
11 Center together with Quanta Technology, the National  
12 Renewable Energy Lab, Mott McDonnell Engineering, H.T.  
13 Harvey and Associates, Conway Geomatics, and really  
14 appreciate the contributions from all of the respective  
15 partners in that.

16           We also had a very active advisory group that  
17 contributed to the effort as well and really appreciate all  
18 of those contributions.

19           And with that, I will pass things over to my  
20 colleague, Jim Zoellick, who will present some of the  
21 results associated with this analysis.

22           Over to you, Jim.

23           MR. ZOELLICK: Great. Thank you, Arne.

24           Next slide, please.

25           So I will begin by describing the offshore wind

1 scenarios that we studied and the transmission solutions  
2 that we considered. And then I will discuss some of the  
3 results from our study and point out some key findings and  
4 recommendations.

5 So as you can see here on this slide, we looked  
6 at three scales of offshore wind development in Northern  
7 California and Southern Oregon, ranging from 7.2 gigawatts  
8 up to 25.8 gigawatts. And we did this over three  
9 scenarios, which we called low, mid-range, and high. This  
10 offshore wind development was assumed to be done offshore  
11 of Northern California and Southern Oregon.

12 Next slide, please.

13 And across these three development scenarios, we  
14 examined ten different transmission alternatives. Two of  
15 those transmission alternatives were for the low  
16 development scenario, or 7.2 gigawatts, six were for the  
17 mid-range, or 12.4 gigawatts, and two of the transmission  
18 alternatives were for the high development scenario, 25.8  
19 gigawatts.

20 Next slide.

21 This map here shows the offshore wind areas that  
22 we considered for development. These areas were based in  
23 part on BOEM-designated offshore wind areas, and this  
24 included the Humboldt Wind Energy Area, which is currently  
25 under lease, and also included what at the time of the

1 study were BOEM Call Areas offshore of Brookings, Oregon,  
2 and Coos Bay, Oregon. And those Oregon Call Areas were  
3 finalized just last month as wind energy areas by the  
4 Bureau of Ocean Energy Management.

5 In addition, we examined areas off of Del Norte  
6 County and Mendocino County Coast in California that do not  
7 currently fall under any particular BOEM designations, but  
8 that have drawn interest and have been investigated by  
9 others. And we utilized information from the California  
10 Energy Commission's sea space analysis for these areas. We  
11 also considered potential restrictions from the Department  
12 of Defense with regard to military operations and from the  
13 U.S. Coast Guard with respect to vessel access routes.

14 On the map to the right, you can see the offshore  
15 wind areas we considered that are outlined with a red  
16 dashed line going from Coos Bay at the top, then there's  
17 Brookings, Oregon, then Del Norte, Humboldt Wind Energy  
18 Area, and finally the Cape Mendocino area that we looked  
19 at.

20 Next slide, please.

21 With regard to the transmission corridors that we  
22 examined, this map shows the complete array of transmission  
23 routes that were considered in our analyses, including both  
24 offshore and onshore routes. For the onshore routes, we  
25 focused on the expansion of the existing transmission

1 corridors.

2           Our project partner, H.T. Harvey and Associates,  
3 conducted a high-level assessment of these potential  
4 transmission routes to evaluate them for potential barriers  
5 to development. They ranked barriers from low to very high  
6 and assigned these rankings to the routes that they  
7 assessed, as can be seen on this map. You can see the low  
8 barriers are in green, medium is in yellow, high is in  
9 orange, and very high is in red. And barriers included  
10 environmental concerns, sensitive habitats, land use  
11 conflicts, and other permitting challenges.

12           Next slide, please.

13           In terms of the transmission technologies that we  
14 considered, they included a broad range of technologies,  
15 both technologies that are currently available as well as  
16 other technologies that are still in development. This  
17 included both onshore and offshore technologies, high-  
18 voltage AC and high-voltage DC transmission technologies,  
19 dynamic undersea cables, floating substations and floating  
20 HVDC conversion stations, an offshore HVDC backbone and a  
21 mesh network that would connect offshore wind farms, and  
22 phase-shifting transformers that can deliver power to local  
23 communities.

24           And I'll note that some of these technologies, as  
25 Lorelei pointed out, are not currently available, but

1 rather are still under development.

2 Next slide, please.

3 This slide lays out the methodology that we  
4 followed in our study. So first we defined the offshore  
5 wind farm capacities, as explained in the previous slides,  
6 and next we determined the necessary transmission  
7 infrastructure based on the capacity rating shown in the  
8 table to the right. So it shows the assumed capacities for  
9 HVAC overhead 500 kV cables, HVAC undersea 400 kilovolt  
10 cables, those are mainly just export cables, HVDC overhead  
11 500-plus minus 500 kV, and HV undersea plus minus 525 kV  
12 technologies.

13 Our project partner, Quanta Technology, then ran  
14 power flow analyses to determine the need for any network  
15 upgrades, you know, with the offshore wind capacities that  
16 we had identified, as well as these transmission upgrades  
17 that we had determined. And then they determined the cost  
18 of the new transmission infrastructure and the cost of the  
19 necessary network upgrades. And then finally, they ran a  
20 production cost model and we utilized the results of that  
21 to assess the overall cost and benefits of the various  
22 alternatives.

23 It's important to note that our goal in the study  
24 was to explore a large range of possible transmission  
25 solutions and to compare and contrast them with each other

1 in an effort to learn about a wide range of options. We  
2 were not trying to find an optimal solution for a  
3 particular offshore wind development scenario.

4 Next slide, please.

5 In this slide, you can see a couple of maps, two  
6 transmission alternative maps that we looked at, two of the  
7 ten, and these are intended to be examples of the extremes  
8 of what we explored.

9 So the map on the left is alternative 7.2a. This  
10 was for 7.2 gigawatts of offshore wind development. And  
11 this is one of the simplest solutions that we looked at.  
12 It features radial configuration of export cables. So from  
13 each wind farm there's a radial cable that goes pretty much  
14 directly to onshore infrastructure. And then once reaching  
15 shore you can see that we 500 kV HVAC transmission lines to  
16 move the power to the bulk power grid where it could be  
17 transmitted to the load centers in the region.

18 The red lines on the map represent the new HVAC  
19 transmission lines, and we expect this alternative, the one  
20 to the left, to be representative of the near-term solution  
21 for low-scale development, or relatively low-scale  
22 development in terms of the long-term view.

23 The map on the right shows alternative 25.8a,  
24 which is a 25.8 gigawatt scenario. This is a much higher  
25 scale of development requiring greater capacity in terms of

1 transmission upgrades. This solution relies largely on  
2 offshore HVDC infrastructure, such as floating HVDC  
3 conversion stations and high-capacity dynamic HVDC undersea  
4 cables. These technologies are still in development, so  
5 this alternative is intended to represent more of a  
6 futuristic solution.

7           And in the map on the right, you can see the HVDC  
8 undersea cable shown as green lines on the map. And you  
9 can see it interconnects the various offshore wind farms,  
10 as well as features some long-distance HVDC cables that can  
11 transmit power to distant load centers.

12           Next slide, please.

13           This table does a nice job of showing the  
14 comparative characteristics of the 10 transmission  
15 alternatives we considered. I'm not going to go into all  
16 the details here, but moving from the left to the right,  
17 you'll notice that the size of the wind farms increases  
18 from 7.2 gigawatts to 12.4, and then finally on the far  
19 right to 25.8 gigawatts.

20           In the rows highlighted in the aqua blue color,  
21 you can see how we deployed offshore HVDC infrastructure,  
22 high voltage direct current infrastructure. The second two  
23 rows show that we started out with no offshore HVDC  
24 backbone or mesh network, but as we moved to the larger  
25 development scenarios to the right, we started to utilize

1 these technologies to interconnect the Oscar wind farms.

2           You can also see in the bottom two rows that the  
3 number of offshore HVDC conversion stations and dynamic  
4 HVDC undersea cables increases as we move to the right.

5           Most of this offshore HVDC technology is not  
6 currently available for purchase and deployment.

7 Therefore, the alternatives to the far right here are  
8 expected to be more futuristic in nature and the ones to  
9 the far left, more near-term type solutions.

10           Next slide.

11           In this bar chart, we show the estimated capital  
12 costs for each of the transmission solutions that we  
13 investigated. And you can see as we move from left to  
14 right, once again, and the capacity of the wind farm  
15 increases, just as in the previous slide in the table, the  
16 cost for new transmission infrastructure also -- the total  
17 cost for the new transmission infrastructure also increases  
18 and rather significantly. And this is no surprise as the  
19 city being installed increases significantly as well.

20           Looking at the stacked bars on the chart, the  
21 dark blue section at the bottom represents the cost of  
22 network upgrades. You can see these upgrades that will  
23 need to be made to -- or these are upgrades that will need  
24 to be made to the existing transmission system, and you can  
25 see that the costs here are relatively low compared to the

1 overall transmission costs.

2           The yellow hashed sections in the middle of the  
3 bars represents the cost of new onshore transmission  
4 infrastructure. This is more substantial and is somewhat  
5 similar across all ten alternatives.

6           And then finally, the light blue section at the  
7 tops of the bars is the cost for offshore infrastructure.  
8 And this cost increases significantly when we move to a  
9 greater reliance on offshore HVDC -- excuse me -- HVDC  
10 infrastructure, like we do in alternatives further to the  
11 right, especially 25.8a and 25.8b.

12           We'll also note that the cost to connect these  
13 wind farms to local communities and serve those communities  
14 with offshore wind power is very small compared to the  
15 overall cost of the transmission infrastructure.

16           Next slide, please.

17           This table shows the levelized cost of energy and  
18 transmission in units of dollars per megawatt hour. These  
19 costs were calculated by determining the upfront capital  
20 costs for the wind farms themselves and for the new  
21 transmission infrastructure, as well as the long-term  
22 operating costs of the wind farms and the long-term  
23 generation potential of the wind farms. This is a standard  
24 metric that can be used to compare the cost of various  
25 electricity resources.

1           This shows that the estimated levelized cost of  
2 the wind plants ranged from about \$64.00 to \$66.00 per  
3 megawatt hour. And you can see that that's pretty  
4 consistent across the different sized wind farms. And when  
5 we add the cost of transmission, the levelized cost goes up  
6 to about \$77.00 to \$85.00 per megawatt hour. These costs  
7 are higher than typical costs for most onshore renewable  
8 resources that we currently have in the mix, but costs are  
9 expected to come down over time.

10           It's also important to note that the production  
11 cost modeling analysis that we ran, that Quanta ran, showed  
12 that offshore wind development, along with transmission  
13 upgrades, will bring substantial benefits to rate payers.  
14 And this shows up as production cost savings where the cost  
15 to serve the total system, so in order to meet the total  
16 system load with the total generating resources available,  
17 this cost went down when offshore wind and transmission was  
18 added.

19           In addition, there are substantial cost savings  
20 associated with CO2 emissions reductions attributable to  
21 the offshore wind resource. These cost savings are shown  
22 in the two columns on the right side of the table. And  
23 you'll notice that the last two columns for 25.8a and b, it  
24 says not applicable for the system-wide production cost  
25 savings and system-wide CO2 cost savings. We did not run

1 the production cost model for that scenario.

2 Next slide, please.

3 These last couple of slides, I'll just lay out a  
4 few of the key findings and recommendations from the study.

5 First of all, this offshore wind development, the  
6 transmission-related cost will be substantial. Long-  
7 distance subsea HVDC cable runs and floating conversion  
8 stations are expensive, and we saw that in the results I  
9 just showed, but may still be preferred for numerous  
10 reasons, and costs may decrease as HVDC technology matures,  
11 likely will decrease.

12 While a simple radial interconnection approach  
13 may be the cheapest near-term solution, and this is what I  
14 showed in that first example for 7.2a, at scale, when we're  
15 getting to many gigawatts of power offshore, this type of  
16 configuration may be problematic. And a more robust HVDC  
17 mesh network that interconnects the offshore wind farms may  
18 be preferable. It can reduce the number of onshore  
19 landings, and it can allow a lot more flexibility and a  
20 more robust system where there's a lot of offshore  
21 infrastructure that can -- a network of offshore  
22 infrastructure that can transmit the power.

23 Proactive transmission planning will be important  
24 with a focus on the long-term to minimize long-term costs  
25 and benefits or costs and impacts. And this will require a

1 regional -- coordinated regional planning effort.

2 Next slide, please.

3 Offshore wind development will happen over  
4 several decades. So a phased transmission planning  
5 approach should be used where when you're planning  
6 transmission solutions for the near-term, you're also  
7 considering long-term opportunities and challenges and  
8 possibilities. Many required technologies are still in  
9 development, so coordination with industry will be  
10 important, including dealing with supply chain issues.

11 In an offshore HVDC mesh network, if one is  
12 developed, the ownership of that network becomes an  
13 important policy and regulatory question. And one  
14 interesting thing that we found is once you establish an  
15 offshore HVDC mesh network, that becomes part of the  
16 overall transmission system and power that is currently  
17 generated onshore and maybe is flowing to another point  
18 onshore may actually flow offshore and back onshore to  
19 different locations if that's the actual, you know,  
20 cheapest and lowest resistance path of power flow.

21 Serving offshore wind host communities will be  
22 important and this can be done for a small fraction of the  
23 overall cost.

24 And finally, environmental permitting for onshore  
25 and offshore transmission will be complicated and arduous

1 and it should be part of a proactive planning effort that  
2 starts very early in the process.

3 Next slide.

4 That's all I have for you today. Thanks very  
5 much for your attention. This is contact information for  
6 myself and Dr. Jacobson. Thanks again and have a great  
7 day.

8 MR. BARTRIDGE: Great. Thank you, Arne and Jim,  
9 for your presentations, fantastic. And it was a great  
10 pleasure working with both of you guys over the last couple  
11 of years as we pulled this all together, so many thanks  
12 again.

13 Okay, and our final presentation today is from  
14 Jeff Billinton with the California Independent System  
15 Operator.

16 Jeff, are you on?

17 MR. BILLINTON: Yeah, I'm on. Can you hear me?

18 MR. BARTRIDGE: I can hear you and see you.  
19 Excellent. Thank you. Take it away.

20 MR. BILLINTON: Yeah, and so I'll just kind of  
21 continue on the conversation here. But first, I'm going to  
22 give a bit more of an overview of kind of our process and  
23 planning process and then where we are and how we've  
24 approached it in this year's transmission planning.

25 So if you want to go to the next slide?

1           There has been comments made about, you know, the  
2 ISO with the CPUC and CEC and the establishment or  
3 reestablishing and then updating Memorandum of  
4 Understanding in December of 2022 with the intention to  
5 tighten those linkages really from the resource planning to  
6 the transmission planning, the interconnection and  
7 assortment of resources, and it creates a linkage, as was  
8 said, with the SB 100, in particular the load forecast that  
9 the CEC develops and using a single forecast for both  
10 resource and transmission planning.

11           And so building from that -- if you want to go to  
12 the next slide? -- we've basically gone through and we have  
13 two processes now for our transmission planning. We have  
14 our tariff base, which is our annual. It was based upon a  
15 ten-year. We're looking at a 10 to 15-year with the  
16 forecast and portfolio starting next year going out to 15  
17 years. But in responding to the accelerating load growth  
18 and escalating renewable needs, our plans is in terms of  
19 starting to increase with regards to the transmission  
20 that's being identified as being needed. And like I said,  
21 it's in lot of ways responding to the load growth and the  
22 escalating renewable needs as we move to meet the state's  
23 goals.

24           Back in 2022, we also initiated and developed a  
25 20-year outlook. The study really establishes a longer-

1 term direction and strategy. It's for informational  
2 purposes and provides that kind of context for when we're  
3 looking at the near-term in our annual ten-year  
4 transmission plan, those needs and how they fit into the  
5 longer-term needs of the system and the state.

6 So that's where we are with those plans.

7 And if you go to the next, we also, just in  
8 December, as an extension or an addendum to the '22-2023  
9 transmission planning process, conditionally approved  
10 project in SWIP North for out-of-state wind accessing  
11 Idaho, and continuing in terms of looking at some models  
12 and we have approved and FERC has approved the tariff for  
13 the subscriber PTO model. TransWest Express has gone  
14 through with our board to become a PTO under that model.  
15 Sunzia has submitted and going through that process right  
16 now. So we're looking at offshore, onshore, and internal  
17 in the state as we're doing the transmission planning.

18 So I'll move to the next slide.

19 And this just gives us a little bit of a  
20 highlight of our transmission planning process, our annual  
21 transmission planning process. And it's really three  
22 phases when we look at it.

23 First is the development of the study plan. What  
24 is the inputs? What's the assumption? So the demand for  
25 gas three resource portfolios, the existing topology, and

1 as we look forward.

2           And so around the April timeframe, we get that  
3 finalized as the study plan, and then move into the  
4 detailed analysis, be it of reliability or policy and  
5 economic analysis to the development of the draft  
6 Transmission Plan that, as Neil indicated earlier in the  
7 meeting, we'll be bringing it out on April 1st, on Monday,  
8 the draft Transmission Plan for the '23-24 transmission  
9 planning process. And then we take that to our board for  
10 approval for the plan in the May board meeting.

11           And then the third phase is really is if there's  
12 any projects that are eligible for competitive solicitation  
13 and based upon our tariff, it's any lines that are over 200  
14 kV and/or a greenfield, a new -- like a new line, a new  
15 substation, any other facilities if they're basically  
16 reconducting, putting a transformer into that station,  
17 whether it be over 200 or all projects less than 200 kV  
18 would be something to the (indiscernible) transmission  
19 owner in the area.

20           But competitive solicitation, we go through  
21 solicitation, get bids and select parties or the project  
22 sponsor. And then they proceed with the process of the  
23 permitting, these detailed building construction and  
24 maintenance service, and then become a transmission owner  
25 within a regulated transmission owner within the California

1 ISO system.

2           If you want to go to the next slide?

3           This just highlights, again, the process that we  
4 do for our transmission planning. We start and it's a  
5 sequential where we look at the reliability needs, and  
6 those are basically to meet the mandatory reliability  
7 standards and performance requirements and planning  
8 standards to supply the loads. Then we look in terms of  
9 the policy and that looks at with the renewable and to be  
10 able to deliver the renewables that are in the portfolio,  
11 the loads based on the requirements.

12           But then what we're also looking at is are there  
13 any reliability projects that could be changed and meet  
14 both needs? And then to economic analysis, like Jim was  
15 talking about, production cost analysis, looking really for  
16 is there any market efficiency congestion in projects that  
17 would be economic that would be beneficial for the system.

18           And so what we do every two years is we do a  
19 local capacity study that goes longer out to the ten-year  
20 horizon, and then we also have an inter-regional planning  
21 process that is every two years that we coordinate  
22 (indiscernible) with NorthernGrid, which is a lot of the  
23 northern and eastern, and WestConnect, which is Arizona and  
24 straight out (indiscernible) in the system called  
25 WestConnect, and so do those every two years in

1 coordination.

2 I'm going to go to the next slide.

3 When we're looking for this year's '23-24  
4 transmission planning process, as well as the portfolios,  
5 these are the portfolios, as I indicated, under the  
6 Memorandum of Understanding that the CPUC provides for us  
7 through their integrated resource planning through decision  
8 for us to use to plan for the policy and the transmission  
9 based upon the resource development. And this provides the  
10 base portfolio and sensitivity portfolio for this year's,  
11 as well as the 20-year outlook.

12 In the far right is the current, and I've just  
13 put the May 2022, which we looked out to the 2040 portfolio  
14 that we used. And some of the key is the difference  
15 between the base, and the base is what we plan to and we'll  
16 approve transmission or recommend approval of transmission  
17 to. The sensitivity is for informational. And as we look,  
18 and the biggest in here is the out-of-state wind increase  
19 from 5 gigawatt to 13, with most of that increase being in  
20 the North Coast area. And then, similar for the 20-year  
21 outlook, going from 10 years in 2040 to a 20-year scenario  
22 in 2045.

23 Can we go to the next slide?

24  
25 This also is, as we're doing our transmission

1 planning, kind of as we were doing the aligning and working  
2 with and looking at a zonal approach, the zonal is  
3 consistent with how we look at it from the generator and  
4 connection, and then also looking at within the portfolios,  
5 where is the resources allocated and what transmission is  
6 within those areas or to get from those areas to other  
7 areas on the system to reliably supply the load with the  
8 renewables.

9           So this is -- and we started with the original in  
10 May, 2022 with a zonal approach and we've expanded it into  
11 2022-2023 and we'll keep expanding it to where we're  
12 looking at here. And this provides, really, within each of  
13 the zones, what is the base portfolio and the sensitivity  
14 portfolio for the 2023-2024 transmission planning process.

15           If you want to go to the next slide?

16           This is just, also, just kind of depict, as we  
17 look at it, in this year's transmission planning process  
18 the base portfolio had about 85 gigawatts of resources, and  
19 the 2022-2040 process had about 120. And in the portfolio  
20 that was provided from the CEC and CPUC for the 20-year  
21 outlook that we're looking at developing currently, out to  
22 2045, it's 160. And you can see we're on a trajectory of  
23 continual as opposed to where we had lower numbers  
24 originally in the near term and everything in the later  
25 years. This is now where we're getting to really a

1 trajectory to get to those goals and to plan the  
2 transmission system as well as the resources through the  
3 CPUC IRP.

4           If you go to the next slide, this is just  
5 highlighting what's in the portfolio. And you can see last  
6 year's portfolio in the base portfolio, there was only in  
7 the Humboldt area, 120 gigawatt. And that was largely  
8 energy-only resources, and a sensitivity of 1.6. And in  
9 the north, in the Central/Morro Bay, and I'll talk about it  
10 when the area, it's just -- they've been relatively in the  
11 baseline, but in that area there is existing transmission  
12 for it to connect in the bulk system in the area.

13           In the North Coast area, and as Jim highlighted,  
14 there's only two 115 kV lines from that central backbone to  
15 the coastal area. And so as we look at with 1.6 gigawatt  
16 in the base portfolio, that's something that's triggering  
17 the need for transmission, and in this year's transmission  
18 plan, going through the process to run and recommend  
19 transmission to integrate transmission or the resources in  
20 the North Coast area.

21           And then the column on the right is next year's  
22 transmission plan, which still indicates and validates the  
23 portfolio for the offshore wind in the North Coast area  
24 and, similarly, in the Central Coast.

25           And then far right just provides in terms of the

1 differences between the 20-year outlook and the May 2022  
2 and 2024.

3           So I'll go to the next slide.

4           So this is kind of similar in the approach that  
5 we've taken with trying to look at the needs for -- to meet  
6 the needs of the current base portfolio of 1.6, but also so  
7 that it's flexible enough to meet into the longer term, is  
8 the way that we started looking at this was what was the  
9 need for the 20-year outlook, which in the North Coast area  
10 was around 14.6 gigawatts of offshore wind. And then we  
11 had the sensitivity from this year of 8 gigawatt and the  
12 1.6.

13           And really wanting to make sure that whatever  
14 we're going to be looking at for recommending is something  
15 that is flexible to adapt into the long-term scenarios,  
16 because there's a lot of uncertainty of what, where, and  
17 when the further developments beyond the current portfolio  
18 go to. And so what we recommend now, needing to have that  
19 flexibility to fit into those varying long-term scenarios.

20           So if you go to the next slide?

21           This is really just it graphically. And it  
22 follows, again, with what Jim was talking about, is we have  
23 the Humboldt Call Area, we have the Morro Bay Call Area in  
24 the Central Coast. And in the North Coast area, there's  
25 areas that are being defined and similar in terms of

1 specific to the earlier discussions in the Del Norte and  
2 the Cape Mendocino, what exactly those look like, how much,  
3 by when is the uncertainty as we look out into the longer  
4 term. And so as we look at the near term for the Humboldt  
5 Call Area, the 1.6 gigawatt currently in the base  
6 portfolio, what transmission can expand from that point?

7 In the south, I'll talk about in just a minute,  
8 but as we look, what is the transmission that's in that  
9 area in the base portfolio and future, will those fit?

10 So if you want to go to the next slide?

11 In the Central Coast, there is the transmission  
12 that currently supplies, that's for the Diablo area.  
13 There's three, 500 kV lines out in the area. In 2021-2022,  
14 when we looked at it, that could accommodate with the  
15 retirement of Diablo, about 5.3 gigawatts. If we look at  
16 in terms of with Diablo, if it stays a little longer in  
17 periods, it would limit it to about 3 gigawatts.

18 And the diagram on the right just illustrates  
19 alternatives to go above the 5.3 of transmission  
20 alternatives to increase beyond the in the Central Coast.  
21 And as I indicated, the base portfolio is around 3.1  
22 gigawatts, which fits within the existing system needs or  
23 system capabilities.

24 Let's move to the next slide.

25 This is where we look at the longer term and

1 looking, like Jim was talking about is, is it on-sea, which  
2 is on-sea and which is on-land and needs for -- and it  
3 being really a hybrid on-land that you're going to need  
4 really in terms of on-land facilities, of AC facilities, of  
5 HVDC facilities, fenceless (phonetic) sea cables. And as  
6 we look at it, and the sea cables have some of the  
7 challenges with, like Jim talked about, the technology  
8 being there.

9           Some of the problems is, is the depth itself and  
10 get beyond where cables have been looked at for normal  
11 depth burial to be able to get around obstacles out there  
12 in the sea. That's one of the reasons when I look at the  
13 next slide that talks about the alternatives that we're  
14 looking at and we'll be making a recommendation in the in  
15 the plan that was posted on April 1st.

16           The sea cables, we've excluded from the  
17 alternatives to look at first and there's a couple of  
18 reasons, is they limit the flexibility to be able to expand  
19 in future as we look at sea cable if we start with them in  
20 sea integration, as well as the technologies are not there  
21 for right now to be able to move forward and award and  
22 proceed with the development, as well as the costs are  
23 considerably higher for the sea cable facilities.

24           So as you go to the next slide, this is where  
25 we've gotten and we will be making a recommendation in the

1 plan on Monday, looking at the alternatives. And these  
2 align similar to a lot of what Jim has talked about, and we  
3 did coordinate and collaborate with Jim and Arne and Shatz,  
4 and we are with the PNL, as well, as to the analysis study  
5 work that they're doing.

6 But looking at an alternative would just be an AC  
7 that would be bringing lines over from Humboldt over to a  
8 station that is being developed right now called Fern Road  
9 in the backbone of the 500, but that would also require an  
10 additional 500 kV line from there down to the peninsula  
11 area, which is just northeast of the Bay Area.

12 Also looking at an HVDC line from the Humboldt  
13 area down to Collinsville, which is in the North Bay area,  
14 just opposite the Bay in terms of Pittsburgh, and then  
15 connecting into the San Francisco Bay area in terms of a  
16 DC.

17 Then a third alternative we're looking at really  
18 is an AC line, a single AC line over to the backbone, and  
19 an AC line basically that is built for HVDC and designed to  
20 be able to be a future converter to AC, but first energized  
21 as AC. And with that, you defer the costs of the DC  
22 converter stations, which can be half a billion, two to  
23 three quarters of a billion at each end. And so you're  
24 deferring that until the capacity needs warrant the need  
25 and expand and build into that longer term future

1 development.

2           So these are the three alternatives that as we're  
3 looking at, and like I said, in Monday's Transmission Plan,  
4 the recommendation of which alternative we're recommending  
5 for approval. And then we'll have a stakeholder meeting  
6 scheduled for Tuesday, April 9th, on this but also the  
7 whole Transmission Plan before we bring forward to our  
8 board recommendation.

9           So if you go to the next slide?

10           That's kind of where we are. And one of the  
11 things as we were looking at the transmission planning in  
12 the 2022-2023, there was significant, that was identified  
13 in the base, and also in the alternatives that was  
14 provided. So the development in our plan addressed a lot  
15 of what is in -- what would be in this year's plan with the  
16 exception of the offshore wind being the policy needs in  
17 the 2023-2024 Transmission Plan.

18           I'm just going to have to say, this just provides  
19 just kind of where we are. Like I said, we're posting the  
20 plan on Monday, having a stakeholder meeting on the 9th,  
21 and then taking comments on them, and then bringing it to  
22 our board at the May board meeting, which I believe is on  
23 May 23rd, 24th.

24           So that concludes, Jim, for me for the  
25 presentation, and then we'll go forward. Thanks.

1           MR. BARTRIDGE: Great. Thank you, Jeff. And as  
2 I mentioned to Arne and Jim, it's been great working with  
3 you as well past couple of years on transmission.

4           So, okay, well, thanks, everyone, for those  
5 transmission presentations.

6           And next we'll move into the public comment  
7 period to conclude the day. So let me turn that back over  
8 to Jack, who will facilitate comments.

9           Jack, go ahead.

10          MR. BASTIDA: Thank you, Jim.

11          Thank you for everyone for sitting with us at the  
12 end of this Friday.

13          The California Energy Commission welcomes public  
14 comment at this time. This is an opportunity for attendees  
15 to give their general comments.

16          If you're joining us via Zoom online or by phone,  
17 please let us know you'd like to make a comment by using  
18 the raise hand feature on Zoom. If you're online, you will  
19 click on the open palm at the bottom of the screen to raise  
20 your hand. Already seeing a few hands pop up. If you're  
21 calling by phone, please press star nine to raise your  
22 hand.

23          All right, let's see, I see Azsha. I'm going to  
24 open your line. Please unmute on your end. Spell your  
25 name for the record, state any affiliation, and begin your

1 comment. We're asking comments to be three minutes or yet  
2 or less. There will be a timer on the screen. And you  
3 should be able to open your line now.

4 MS. HUDSON: Can you hear me?

5 MR. BASTIDA: Yes.

6 MS. HUDSON: All right. Well, this is Azsha  
7 Hudson again with the Environmental Defense Center,  
8 A-Z-S-H-A H-U-D-S-O-N. So I will skip my introduction for  
9 who EDC is since I did that this morning.

10 Once again, thank you to everybody who's worked  
11 on the Strategic Plan and on this workshop. All the  
12 information has been great and insightful. So I'll just  
13 jump into the comments right now.

14 We appreciate that this draft Strategic Plan  
15 acknowledges the need to provide improved access to  
16 reliable renewable energy for North Coast tribal and rural  
17 communities and the Native American tribes and people. We  
18 encourage including this element in the transmission  
19 planning section.

20 We also ask that the agency consider transmission  
21 alternatives that utilize more onshore routes to minimize  
22 multiple offshore cable routes. Deeper analysis of  
23 alternative options and coordinating transmission planning  
24 will allow for a significant decrease in impacts from  
25 transmission corridor development offshore.

1 Thank you.

2 MR. BASTIDA: All right, thank you so much.

3 Let me reset the clock here. I see Julia here  
4 has her hand up, Dowell, Julia Dowell. I'm going to open  
5 your line. Please unmute on your end. Spell your name for  
6 the record, state any affiliation, and begin your comment.  
7 We're asking comments to be three minutes or less. There  
8 will be a timer on the screen. And you can unmute yourself  
9 now.

10 MS. DOWELL: Hello. Thank you. Thank you for  
11 the opportunity to comment. My name is Julia Dowell,  
12 J-U-L-I-A D-O-W-E-L-L. I am a Senior Field Organizer with  
13 Sierra Club.

14 We deeply appreciate the Commission's  
15 facilitation of these workshops for public engagement on  
16 offshore wind development. Sierra Club is supportive of  
17 offshore wind development if it is responsibly cited in  
18 consultation with local community and tribes. We strongly  
19 support offshore wind development that facilitates the  
20 retirement of gas plants. Therefore, we understand the  
21 need for transmission upgrades and the buildout of new  
22 transmission.

23 The primary benefit of developing offshore wind  
24 energy in California is to decrease the state's reliance on  
25 fossil fuel. Accomplishing this will require the

1 Commission to ensure that the transmission connections  
2 between planned offshore wind facilities and population  
3 centers lead to decreased reliance on gas plants,  
4 especially those in disadvantaged communities. For  
5 offshore wind development to facilitate these retirements,  
6 the CEC and its sister agencies must plan for transmission  
7 development that fully connects offshore wind energy to  
8 areas that currently rely on gas plants.

9           Also, transmission planning needs to optimize for  
10 the right characteristics. State law requires the CEC to  
11 plan transmission specifically to reduce our reliance on  
12 gas plants. SB 887 requires the CEC to plan transmission  
13 that will reduce our reliance on gas plants in  
14 disadvantaged communities. That means that the CEC's  
15 efforts on offshore wind transmission here need to evaluate  
16 which transmission options will actually reduce gas plant  
17 generation. This is critical to actually improving air  
18 quality in disadvantaged communities, reducing emissions.

19           We want to see the CEC commit to working with  
20 PNNL and the CPUC, CAISO and its partners in its  
21 evaluations looking at which transmission options will  
22 reduce gas plant generation.

23           Thank you for your time.

24           MR. BASTIDA: Great. Thank you for the comment.

25           All right, let me reset here. And I see EPIC.

1 EPIC has their hand up. I'm going to unmute, open your  
2 line. Please unmute on your end. Spell your name for the  
3 record, state any affiliation, and begin your comment. We  
4 are asking for comments to be three minutes or less. There  
5 will be a timer on screen. And you should be able to  
6 unmute yourself.

7 MR. SIMMONS: Hi. My name is Matt Simmons,  
8 M-A-T-T S-I-M-M-O-N-S. I'm with EPIC, or the Environmental  
9 Protection Information Center. We're a non-profit located  
10 in Arcata, California on Humboldt Bay that has been  
11 defending the North Coast since 1977.

12 EPIC supports the responsible development of  
13 offshore wind. I want to thank you all for this really  
14 helpful day. I'm going to keep my comments to being mostly  
15 focused on transmission.

16 First off, I think that the planning to have as  
17 few export cables landing on shore as possible is  
18 incredibly important. The inter-array cables and the mesh  
19 network and the backbone are all really exciting in order  
20 to reduce the impacts. And I know that this is a  
21 developing technology, but we have a couple of years before  
22 this project could even possibly be built. And so spending  
23 our time working on that is incredibly important.

24 I also want to say that I think it's really  
25 important for this project to provide renewable energy to

1 folks living in Humboldt County. You know, right now, my  
2 laptop is being powered by burned natural gas at the  
3 Humboldt Bay Generating Station. And I think it would be  
4 really fantastic if offshore wind could directly benefit  
5 the folks that are experiencing this development by helping  
6 us retire our natural gas plant.

7 In terms of on-land transmission planning, I  
8 really want to thank the CEC for working with the Schatz  
9 Center. It's so valuable to have a local organization like  
10 Schatz being really deeply involved with these issues.

11 You know, EPIC supports the transmission  
12 development needed to facilitate the transmission of  
13 offshore electricity, you know, throughout the state. I  
14 will say that I think that more community involvement in  
15 transmission planning is incredibly important so that  
16 people understand where and why this is happening, as much  
17 as possible, you know, having these benefits directly  
18 accrue to people. I really appreciated that Schatz talked  
19 about, you know, rate payer rates being affected positively  
20 by this development.

21 And also, the North Coast is home to many  
22 communities that, you know, are in really rural, rugged  
23 mountainous areas that might not benefit directly from this  
24 development. And I think that's something that the CEC  
25 should be thinking about in the AB 525 report is

1 alternative energy sources for those communities that are  
2 impacted by offshore wind but aren't going to receive the  
3 electricity directly. So this could look like solar  
4 microgrid development or other, you know, small hydro,  
5 other alternatives for the communities that, you know, are  
6 impacted and should also be getting benefits from this  
7 project.

8 But overall, I want to say thank you very much  
9 for this presentation. It's extremely helpful, and have a  
10 good afternoon.

11 MR. BASTIDA: Great. Thank you for the comment.

12 All right, I see Alison is holding -- has got her  
13 hand up. Let me open your line. Please unmute on your  
14 end. Spell your name for the record, state any  
15 affiliation, and begin your comment. We're asking comments  
16 to be three minutes or less. There will be a timer on the  
17 screen. Allison with NRDC, you should be able to unmute  
18 yourself now.

19 MS. HAHM: Hi, thank you. My name is Alison  
20 Hahm, A-L-I-S-O-N H-A-H-M. I'm an attorney with Natural  
21 Resources Defense Council's Environment Equity and Justice  
22 Center and a proud member of the Impact Project Coalition,  
23 which includes community-based organizations, environmental  
24 justice groups, academic institutions, and national  
25 environmental NGOs.

1 NRDC supports the development of offshore wind  
2 off the coast of California to meet the state's clean  
3 energy and climate goals. We welcome the work of CEC to  
4 develop this renewable energy infrastructure in close  
5 partnership with impacted communities, tribal nations, and  
6 labor to ensure an equitable and accelerated transition  
7 away from fossil fuels to create more safe jobs and healthy  
8 communities.

9 NRDC also believes that it's crucial to advance  
10 offshore wind in a way that minimizes negative ecological  
11 consequences and maximizes benefits to port-adjacent  
12 communities, communities that are already  
13 disproportionately burdened by industrial operations and  
14 extreme air pollution. It's our hope and expectation that  
15 offshore wind development will improve life expectancy in  
16 communities living on the front lines of industrial  
17 operations.

18 For this reason, we urge CEC to first maximize  
19 community benefits. Offshore wind projects must require  
20 use of 100 percent zero-emission vehicles and equipment and  
21 infrastructure during project construction, operation,  
22 maintenance, and decommissioning.

23 Offshore wind projects should also invest in  
24 local charging infrastructure to support zero-emission  
25 electric equipment and vehicles.

1           We also urge CEC to promote a rapid phase-down of  
2 fossil fuel infrastructure and other polluting sources in  
3 conjunction with clean energy infrastructure development to  
4 avoid a potential increase in cumulative impacts from  
5 offshore wind-related construction, maintenance, and  
6 operations.

7           In conclusion, I'd like to thank CEC for  
8 facilitating today's workshop, initiating community  
9 listening sessions, and reaching out to tribal nations to  
10 discuss the benefits and potential risks associated with  
11 offshore wind development. More of this outreach is needed  
12 and we thank CEC for taking the time to listen to community  
13 concerns. Continuing this open dialogue is vital to ensure  
14 the offshore wind industry is a catalyst for improving  
15 quality of life in port adjacent communities and advancing  
16 environmental justice.

17           Thank you, and we look forward to continuing this  
18 discussion and appreciate your time.

19           MR. BASTIDA: Great. Thank you so much for your  
20 comments.

21           All right, I see Mike has his hand up from, I'm  
22 sorry, it's West Coast something, but I'll let you talk.  
23 I'm going to open up your line. Please unmute on your end.  
24 Spell your name for the record, state any affiliation, and  
25 begin your comment. We're asking for comments to be three

1 minutes or less. There will be a timer on the screen.

2 And, Mike, you should be able to talk now.

3 MR. OKONIEWSKI: Thank you. Can you hear me  
4 okay?

5 MR. BASTIDA: Yes.

6 MR. OKONIEWSKI: My name is Mike Okoniewski, last  
7 name is O-K-O-N-I-E-W-S-K-I, and I'm from the West Coast  
8 Pelagic Conservation Group. And I thank you today for  
9 allowing me to say a few words here and testify.

10 So BOEM's confidence level and their methodology  
11 to accurately assess floating offshore wind impacts to  
12 marine environmental and ecological system is remarkable.  
13 There is no floating wind energy empirical data to work  
14 with. No empirical data studies on the effects offshore  
15 wind will have on upwelling, ocean larval transport, sea  
16 temperature, natural biodiversity and spawning areas.

17 Nor is there empirical data on the effects of  
18 wind wakes or on regional cumulative impacts when we finish  
19 industrializing our U.S. West Coast economic exclusion  
20 zone. There is no economic study on what the cost will be  
21 to fishermen and communities.

22 The U.S. fishery supply chain contributes over  
23 \$100 billion a year to the gross national product and  
24 creates over 700,000 jobs. We support renewable energy.  
25 We do not support sacrificing the productivity of the

1 California current ecosystem to achieve renewable energy,  
2 especially when there are less complex solutions available.

3 Thank you.

4 MR. BASTIDA: Great. Thank you for your  
5 comments.

6 I see we have a hand up for Tom, Tom Hafer. I'm  
7 going to open your line. Please unmute on your end. Spell  
8 your name for the record, state any affiliation, and begin  
9 your comment. We are asking for comments to be three  
10 minutes or less. There will be a timer on the screen. And  
11 you should be able to unmute yourself.

12 MS. HAFER: Hi. This is Sheri Hafer. I am  
13 representing the Morro Bay Commercial Fishing Organization.

14 So what I want to bring up is Holly Wyer's  
15 comment from the Coastal Commission saying that permitting  
16 high voltage current cables is similar to fiber optic  
17 cables. They're very different, as we all know. And, you  
18 know, there's been a lot of failure of the cables in  
19 Europe, over 90 failures in the last seven years for a  
20 multitude of reasons, including becoming unburied. It's  
21 one of the most expensive costs for the offshore wind  
22 companies.

23 They also emit electromagnetic fields. And it's  
24 been shown that eggs, lobster eggs laying next to them  
25 cause the lobsters to become deformed. Their tails are

1 deformed. Their eyes are deformed. And it impacts the  
2 migration of species that are sensitive to electromagnetic  
3 magnetic fields, like the women spoke of earlier.

4           They also emit heat, especially the mid-water AC  
5 cables that are going to be between these turbines, which  
6 are going to be hundreds of miles. They're a mile apart,  
7 and you're talking in Central Coast 300 turbines or so, and  
8 so that's a lot of miles of cable in the water, which your  
9 pictures don't display.

10           And the other thing is, is that they contain  
11 sulfur hexafluoride, which is -- it causes -- it's very --  
12 it causes global warming. It blocks the sun. It's very  
13 toxic. I don't know how to explain it but it's a bad  
14 chemical that if a cable broke and it got out, it would be  
15 bad. So the State Water Boards should know about that.

16           And that's the other thing, Department of Fish  
17 and Wildlife, they talk about trenching not being allowed  
18 in marine protected areas, but multiple times you mentioned  
19 putting in subsea cables that would have to go through  
20 marine protected areas. And so if something's not going to  
21 be allowed, then how can you even propose it? So I don't  
22 know what your plan is on that.

23           And even to go into Diablo Canyon on Point Buchon  
24 NP is right there. I don't know if they're going to be  
25 able to go around that or not. And there's essential fish

1 habitat, essential fish habitat that the wind farms are in.  
2 And also ESHA around Morro Bay that the cables are going to  
3 have to go through. So if you know that you're not going  
4 to be able to do trenching and cabling in these areas, and  
5 why are you even allowing it in the first place?

6 So I guess that's all I need to comment on right  
7 now. Thank you.

8 MR. BASTIDA: Thank you so much for your  
9 comments.

10 I'm going to see if there's any more hands  
11 raised. I don't see any more. I'm going to do a last call  
12 here for public comment before.

13 Oh, there's one more that looks like popped up  
14 here. Sarah. Sarah, I see your hand is up. I'm going to  
15 open your line. Please unmute on your end. Spell your  
16 name for the record, state any affiliation, and begin your  
17 comment. We're asking for comments to be three minutes or  
18 less. There will be a timer on the screen. And you should  
19 be able to unmute yourself.

20 MS. XU: Yeah. Good afternoon. My name is Sarah  
21 Xu, spelled S-A-R-A-H X, as in x-ray, -U, as in uniform.  
22 I'm the Senior Policy Associate at Brightline Defense.

23 Thank you again to all the CEC, CAISO, and other  
24 staff that helped put together the transmission planning  
25 sections of the AB 125 Strategic Plan.

1           At Brightline, while we're San Francisco-based,  
2 we want to lift the comments previously stated by others  
3 about the importance of local reliability and transmission  
4 and local distribution, and the areas near to offshore wind  
5 development. There's quite a number of important  
6 discussions around energy reliability, concerns about  
7 eminent domains, siting, impacts on natural and coastal  
8 resources that we believe requires a lot more local  
9 education and locally-led planning processes and  
10 discussions.

11           At this time, additionally, we recognize there's  
12 quite a number of uncertainties in terms of cable landfall,  
13 siting, and permitting. But it would be important that the  
14 Strategic Plan includes guardrails to not bypass rural and  
15 unconnected communities in California, especially Northern  
16 California's region, and keeping an eye on repair costs  
17 throughout the transmission planning process.

18           Finally, we appreciate the planning overall and  
19 the timelines that were presented today. And I think there  
20 is a need for further discussion about regulatory process  
21 authority. It would be helpful for advocates and community  
22 members in this space.

23           Thank you so much.

24           MR. BASTIDA: Thank you for your comments.

25           I see Alan has his hand up. Let me restart here.

1 Alan, I'm going to unmute your line. You could unmute on  
2 your end. I'm going to spell your name for the record,  
3 state ID affiliation, and begin your comments. You'll be  
4 able to unmute now.

5 MR. ALWARD: There you go. Okay. Can you hear  
6 me now?

7 MR. BASTIDA: Yes. Yes.

8 MR. ALWARD: Okay. I just wanted to make sure  
9 that the public utility -- the California Energy Commission  
10 was considering risk in their planning process? Because I  
11 know that the solar alternative has an average of a 12-  
12 hour-a-day downtime, but with this wind renewable energy,  
13 you can have much longer periods of downtime. And at this  
14 time, that requires gas plants to be held on standby. So  
15 that's an extremely costly measure. There's the risk of  
16 grid instability because of a loss of power due to the wind  
17 not blowing, which increases the need for batteries to back  
18 that up.

19 But there are things that can happen that can  
20 make that risk really get extended. Like if you have an  
21 earthquake that displaces land, any kind of lateral  
22 movement, these buried cables will break. And then the  
23 amount of time it takes to replace a cable on the bottom of  
24 the ocean is much longer than it takes on land. You know,  
25 you first have to locate a boat to do the work. It has to

1 cross the ocean. I mean, it's just horrifying. What the  
2 grid will be at risk of is a very long-term substandard  
3 performance. I mean, we're talking practically on its  
4 knees if you take this route.

5 I just urge you to analyze the risk in a really  
6 robust way because it's something that's not being talked  
7 about and I think people needed to be aware of it.

8 Thank you.

9 MR. BASTIDA: Thank you for your comments.

10 All right, I'm not seeing any more hands right  
11 now. I want to do one last call for comments. If anybody  
12 has any comments now is the time. All right, I'm not  
13 seeing any further hands raised on Zoom.

14 Thank you everyone for your public comments  
15 today. This concludes the public comment period.

16 Back to you, Jim.

17 MR. BARTRIDGE: Okay. Great. Thank you, Jack.

18 Well, thanks everyone. We're right about at the  
19 end.

20 I just want to ask real quick if any leadership  
21 had any burning desire for public comments -- or I mean for  
22 closing remarks, excuse me?

23 Okay, and hearing none, again, thanks everyone  
24 for your attendance, participation and comments today.

25 All of the AB 525 reports that influenced and

1 were used in creation of the Strategic Plan are available  
2 at the AB 525 Reports page, which is linked here. The  
3 presentations and Zoom recording from today will be posted  
4 shortly at the AB 525 event page shown here as well. And  
5 the professional transcript should be up later next week.

6 All comments on the draft Strategic Plan from  
7 both workshops that we held last week and today are due by  
8 April 22nd.

9 And with that, thanks again for your  
10 participation. Have a great weekend. We're adjourned.

11 (The workshop adjourned at 3:13 p.m.)  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24