

DOCKET	
09-IEP-1C	
DATE	FEB 17 2010
RECD.	MAR 04 2010

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:) Docket No. 09-IEP-1C
))
Integrated Energy Policy Report)
Electricity Demand Forecast)

JOINT IEPR AND ELECTRICITY AND NATURAL GAS COMMITTEE
WORKSHOP

INCREMENTAL IMPACTS OF ENERGY POLICY INITIATIVES RELATIVE TO
THE ADOPTED DEMAND FORECAST

 ORIGINAL

California Energy Commission
1516 Ninth Street
First Floor, Hearing Room A
Sacramento, CA 95814-5512

WEDNESDAY, FEBRUARY 17, 2010

1:00 P.M.

Reported by:
Peter Petty

COMMISSIONERS PRESENT

Karen Douglas, Chairman, and Presiding Member, Integrated
Energy Policy Report (IEPR) Committee

Jeffrey D. Byron, Associate Member, IEPR Committee,
Electricity and Natural Gas Committee

Laurie ten Hope, His Advisor

Robert Weisenmiller, Presiding Member, Electricity and
Natural Gas Committee

Staff Present:

Suzanne Korosec, IEPR Lead
Mike Jaske
Chris Kavalec

Also Present (Via WebEx)

Presenters

Carmen Best, California Public Utilities Commission (CPUC)
Mike Ting, Itron
Simon Baker, CPUC

Stakeholders

Manuel Alvarez, Southern California Edison (SCE)
Amber Riesenhuber, Independent Energy Producers (IEP)
Tim Vonder San Diego Gas & Electric (SDG&E)
Richard Aslin, Pacific Gas & Electric (PG&E)
Faramarz Nabavi, Member, RETI Stakeholders
Steering Committee
Cynthia Mitchell, for TURN

I N D E X

	Page
Introduction	4
Opening Comments	
Commissioners Karen Douglas, Jeffrey D. Byron, and Robert B. Weisenmiller	
Suzanne Korosec, IEPR Lead	9
Background	
Mike Jaske, Electricity Supply Analysis Division	10
Carmen Best, California Public Utilities Commission	21
Overview of Analysis and Results	
Chris Kavalec, Demand Analysis Office	37
Other Results and Technical Issues	
Mike Ting, Itron	52
Caveats and Recommendations	
Mike Jaske, Electricity Supply Analysis Division	79
Incremental Uncommitted Savings in a Managed Forecast	
Simon Baker, California Public Utilities Commission	89
Questions for Stakeholders	103
General Discussion and Public Comments	107
Adjournment	134
Certificate of Reporter	135

1 P R O C E E D I N G S

2 FEBRUARY 17, 2010

1:04 p.m.

3 COMMISSIONER DOUGLAS: Good afternoon, everybody.
4 Welcome to the Energy Commission Joint IEPR and Electricity
5 and Natural Gas Committee Workshop on the Incremental
6 Impacts of Energy Efficiency Policy Initiatives. I am Karen
7 Douglas, the Chair of the Commission; to my left is
8 Commissioner Weisenmiller, the Chair of the Electricity and
9 Natural Gas Committee; to my immediate right, Commissioner
10 Jeff Byron, who was the Chair of the IEPR Committee and the
11 Electricity and Natural Gas Committee when the vast majority
12 of the work that really went into this forecast was
13 conducted; to his right is Laurie ten Hope, his Advisor.

14 Again, welcome, and I would like to turn this over
15 to Commissioner Byron for some opening comments.

16 COMMISSIONER BYRON: Well, thank you,
17 Commissioner. In fact, maybe Commissioner Weisenmiller has
18 something to add, as well, but I appreciate the opportunity
19 to speak first and pass the gavel to some extent, as it
20 were. You know, we have been working on this, I dare say,
21 long before we took this up in the 2008 and 2009 IEPR. The
22 2007 IEPR Committee also worked on this embedded energy
23 efficiency issue, struggled with it, adopted a forecast, and
24 actually had to punt some issues -- I should use a different
25 word -- actually had to defer some issues in the future

1 IEPRs. It is an ongoing process and, dare I say, we are
2 very pleased with the progress that has been made. We take
3 this very seriously. I am quite satisfied that Management
4 has applied some of our best staff to this issue and I think
5 they have done an excellent job, certainly they have worked
6 very hard. But we are going to evaluate results here and
7 that is what I encourage you to continue to do as you take
8 this up this next year.

9 Also, I think it is appropriate, wholly
10 appropriate, to give recognition and kudos to the
11 coordination effort that has gone on with the Public
12 Utilities Commission. If you do not know already, they
13 funded and provided assistance with a contractor, Itron, who
14 we will hear from later today, as well. And I am very
15 satisfied that the efforts to coordinate and really share
16 and exchange information, listen to each other's comments,
17 has been very helpful. You may all know the PUC relies upon
18 our work, our forecasts for their Long-Term Procurement
19 Plan; that is a good thing. I suspect you are both very
20 knowledgeable that there is a lot of financial interest that
21 is at stake in this process. The goal setting that goes on
22 at the PUC, the incentive programs that they have in place
23 to make sure that these goals are met, all create, let's
24 say, pulls and tugs on, indeed, what the final numbers are.
25 And we are all very happy and satisfied that the PUC sets

1 such ambitious goals, and those will be discussed to some
2 length here today. But the measurement and verification,
3 how those rewards are handed out, thank God it is the Public
4 Utilities Commission job to get that all figured out. But
5 we are going to continue bite at their heels because we are
6 all interested in the same thing, making sure we get these
7 numbers right, making sure that there is no increased cost
8 -- I should say no higher costs to ratepayers -- and that
9 our state policy goals with regard to energy efficiency are
10 met. So we certainly support their efforts, but that is a
11 difficult job and not part of this process here today, but
12 it does have bearing on it because, as you will see, there
13 is a lot of interests at stake.

14 So I think the other issue that will come up, and
15 has in the past, is that this Commission endeavors to do its
16 work in a very open and transparent and public process, and
17 we attempt to be very objective in what we do; again, this
18 is what I applaud the staff for, I think they have done an
19 excellent job. But the models that they need to use because
20 of the lack of the end-use data that is available are not as
21 transparent as we would like them to be. You really have to
22 dive down into this information and, as you may know, they
23 created the DFEEQP, the Demand Forecast Energy Efficiency
24 Quantification Project Working Group, a bad acronym, but a
25 very good working group that has involved all the parties

1 that have the interest and the ability to participate. And
2 we will hear more about that today. I think that has helped
3 tremendously, but transparency -- it means two things to me,
4 that is the decision-making that we do is transparent and
5 open, but getting into the details and the assumptions in
6 the model is not always as transparent, and that has been a
7 challenge that we have had to deal with for the last couple
8 of years.

9 If you have not already, you are going to learn a
10 lot of new phrases and acronyms associated with this
11 process. Commissioner Weisenmiller, some of your older
12 terms are still applicable, they have just changed. And we
13 still need to maintain a very high standard for the work
14 that we do in the IEPR around demand forecast, and that is
15 part of why we are here today, is to determine how we have
16 done. But as I said, it is not the end of the process, this
17 will need to continue. I will, of course, stay involved as
18 your IEPR Committee Associate Member, but this is a
19 challenging one. And I look forward to hearing from the
20 staff, from the PUC, and from the commenters today, so that
21 we can help assess how well we have, indeed, done here over
22 the, oh, I hate to say the last two years, but certainly our
23 most recent efforts. Sorry for the long comments, but I
24 appreciate your allowing me to put my little stamp in terms
25 of what we are doing here today. And perhaps Commissioner

1 Weisenmiller would care to add something.

2 COMMISSIONER WEISENMILLER: Yeah, again, I think
3 often what I try to do is to provide some context for people
4 -- by "context," I mean history. And so I remember a
5 meeting that occurred in the mid-'70s with Tom Graff of
6 Environmental Defense, Art Rosenfeld with LBNL, basically
7 pulled Dave Goldstein and I together, and the quandary they
8 thought was decision-makers needs to understand the
9 implications of the policy choices, and so, to the extent
10 the Energy Commission was to adopt building standards or
11 appliance standards, you needed to be able to reflect those
12 in the demand forecast. And certainly at that time in the
13 classic econometric models, you could not do that, and so
14 David and I were thrown in to try and come up with basically
15 the first end-use forecasting model for California in terms
16 of cobbling together any data we could. David did the
17 appliances and I did the building stuff. And obviously it
18 was very -- well, that was very challenging at that point --
19 people have really labored in that area for decades now, I
20 mean, certainly the models and the data are still weak, but
21 I mean, still fundamentally the decision-makers have to be
22 able to connect what the impacts are of their policy
23 choices, like with the conservation programs of the PUC, or
24 all building standards, back to what does it mean for sales
25 and peak flow, you know, what are we deferring? Or, what

1 are the impacts? And that means, particularly now that we
2 have so many different programs, or types of programs, the
3 untangling the impacts of all of them is very complicated.
4 But, again, there is a lot of particularly fun issues to dig
5 into here, but the bottom line is we have to really be able
6 to connect our actions to the impacts that they have.

7 COMMISSIONER BYRON: So, Madam Chair, I think I
8 have certainly talked long enough, and let's try to restore
9 some schedule here. We all, of course, know Suzanne
10 Korosec, Program Director for Integrated Energy Policy
11 Report?

12 MS. KOROSEC: Correct.

13 COMMISSIONER BYRON: Ms. Suzanne Korosec, and I
14 would like to turn it over to her now for this Joint
15 Committee Workshop.

16 MS. KOROSEC: All right, well, I will just do some
17 brief housekeeping items. We do have a full agenda and I
18 want to get going on that. Restrooms are out in the atrium,
19 out the double doors and to your left, there is a snack room
20 on the second floor at the top of the stairs under the white
21 awning, and if there is an emergency and we need to evacuate
22 the building, please follow the staff out the door and to
23 the park that is kitty corner to the building and wait there
24 until we are told that it is safe to return.

25 Today's workshop is being broadcast through our

1 WebEx teleconferencing system and parties need to be aware
2 that we are recording the workshop. The recording will be
3 made available on our website as soon as it is ready and we
4 will also provide a written transcript of the workshop about
5 two weeks after the workshop date. Those listening in on
6 the WebEx, if you would like to ask questions, you can send
7 those to the WebEx coordinator and we will make sure that
8 those are passed on to the presenters. During the public
9 comment period at the end of the day, we will hear first
10 from the people in the room, and then from those on the
11 WebEx. We would like you to come up to the center podium
12 and use the microphone so we can make sure that we capture
13 all of your comments on the record, and it is also very
14 helpful if, when you come up to speak, you give the Court
15 Reporter your business card so we can make sure that your
16 name and affiliation are spelled correctly in our
17 transcript.

18 We are also asking for written comments from
19 parties and those are due by 5:00 p.m. on Friday, February
20 25th. So at this point, I will turn it over to Dr. Jaske to
21 begin our presentations.

22 DR. JASKE: Good afternoon, Commissioners, members
23 of the audience. I am going to give some background for
24 what we are calling the Incremental Uncommitted Energy
25 Efficiency Quantification Subproject, a mouthful as a title

1 and probably hard to unpack to subproject because it is
2 closely related to, but different than, and sort of
3 associated with, the Base Demand Forecast adopted in the
4 2009 IEPR. I will get into some of these other terms that
5 are in the title in a moment. But, as both Commissioner
6 Byron and Commissioner Weisenmiller have said, we are really
7 trying to get down into some weeds here and this is
8 reflected in the fact that we have a staff report of over
9 100 pages, and a consultant attachment, or Appendix,
10 whatever we ended up calling it, of 150 or so pages.

11 So just to add to what Commissioner Byron said,
12 decision-makers have long endorsed high levels of energy
13 efficiency. That have done so sometimes quantitatively,
14 sometimes qualitatively, sometimes with logical statements
15 like "all cost-effective energy efficiency" without actually
16 knowing what that means in terms of a number. This project
17 is directly tied to trying to understand for a particular
18 set of defined program initiatives how much of the savings
19 from those program initiatives is incremental to the 2009
20 Adopted IEPR Demand Forecast.

21 A number of things are going on here that are the
22 procedural vehicles by which forward progress has been made
23 in this area, sometimes haltingly, but nonetheless,
24 sometimes these various proceedings have identified
25 questions that need to be asked and they are taken up and

1 progress made in subsequent proceedings. And that will
2 surely continue to be the case going forward beyond what is
3 at the bottom of this slide.

4 So picking up on particular proceedings or in the
5 middle of that string is the 2006 PUC LTTP Proceeding. This
6 is the first time that the PUC had actually attempted to
7 take what it had said in earlier goal setting decision and
8 tried to actually subtract estimates of additional energy
9 efficiency savings from the forecast, in this case, the 2007
10 IEPR Demand Forecast. As these sub-points indicate, there
11 was a bunch of controversy associated with that, the means
12 by which those estimates were quantified were different than
13 the means by which the forecast was prepared, there was a
14 clash of methodologies, assumptions, there was not enough
15 time to really get into the details of it. In the end, in
16 the decision closing out that proceeding, the PUC decided
17 that 80 percent of these estimates were going to be
18 considered as duplicative of what was already in the 2007
19 IEPR Demand Forecast, and even worse for San Diego, that
20 there was no incremental savings whatsoever. And everyone,
21 of course, was willing to agree that that was not a very
22 satisfactory resolution to the process.

23 At essentially the same time and parallel, the PUC
24 had already begun what turned out to be the 2008 goal
25 setting process. Itron had been hired by IOUs to do a

1 potential study, hired by the PUC itself to help develop
2 some background that eventually led to new numeric goals.
3 They developed the model that goes by the acronym of SESAT,
4 also used in this effort, and produced a very detailed
5 report that builds up three scenarios from a particular body
6 of hypothetical policy initiatives that are sort of
7 different in not so much their scope, but in the level of
8 intensity, the degree to which those policy initiatives are
9 pursued, resulting in different amounts of savings.

10 In the decision culminating that process, the PUC
11 expanded what it considered to be the basis for its goals,
12 it introduced this concept of total market gross, which
13 means several things; it means it is expanding beyond the
14 scope of IOU programs that had heretofore been the case of
15 previous goals; it means that it was not just focusing on
16 the net savings from the programs, it wanted to understand
17 the total effects of the programs, and here we are
18 intrinsically getting into net vs. gross issues. And of the
19 three cases that had been prepared by Itron, they adopted
20 the mid case. Those scenarios encompassed dimensions of
21 each of these four buckets, continued IOU programs, Codes
22 and Standards, which is actually a combination of Energy
23 Commission Title 24 and the Federal Appliance Standards,
24 what we are usually calling AB 111, sometimes "Huffman
25 Lighting Standards," initially set out as goals in the

1 legislation itself and directing the Energy Commission to
2 adopt regulations and now, at least in part, adopted into
3 Title 20 of the Energy Commission's Appliance Regulations.
4 And then things that came out of the PUC's energy efficiency
5 strategic planning process, these big bold initiatives that
6 probably eventually will be reflected in yet tighter
7 appliance standards, Building Standards, but necessarily
8 involve other dimensions because this is where the zero net
9 energy home, zero net energy building concept comes into
10 play. And so we have energy efficiency being somewhat
11 traded off against on-site generation, so that the building
12 does not have any net load on the system, at least on an
13 annual average basis.

14 So picking up that LTTP thread again, early in
15 2008 at the beginning of the 2008 IEPR update process, the
16 PUC requested, and the Energy Commission agreed to
17 undertake, analysis of scenarios that were a part of the
18 goal setting process, tried to identify the incremental
19 savings associated with those, and in the end hand back to
20 the PUC a product that was going to be useful in the PUC's
21 Resource Planning Procurement Proceeding. The Energy
22 Commission agreed to do that, we undertook some workshops in
23 the '08 IEPR update proceeding to sort of develop a work
24 plan, that was where the working group that Commissioner
25 Byron mentioned came about, the working group met many times

1 subsequent to that time. The 2008 IEPR update, when
2 confronted with the question of should the Energy Commission
3 shift its process from what heretofore had been its practice
4 of separating between committed and uncommitted policy
5 initiatives, decided to retain the committed dimension of
6 what goes into the forecast with these definitions here
7 giving you an idea of what the difference between those are,
8 but, at the same time, take on the task of preparing an
9 uncommitted forecast and do so in a particular manner.

10 So just to give a graphical depiction of what we
11 are talking about here, the heavy blue line, third from the
12 bottom, is a demand forecast following the Energy
13 Commission's typical practice of only incorporating
14 committed energy efficiency program initiatives. The
15 distance between the heavy blue line and the sort of
16 brownish line at the very bottom is for this graphical
17 schematic purpose the result if all of the savings of the
18 hypothetical programs here were actually incremental. So
19 the forecast would, in effect, rotate down from the blue
20 line to the brown line. Now, if you had something less than
21 100 percent of those savings viewed as being incremental,
22 you would not, of course, get as far down. And if you used
23 the proportions the PUC had included in the final LTTP
24 decision, you would in effect be rotating that wedge up so
25 that you would have the green line and the black line that

1 both surround the blue line being the same size as that
2 wedge, but it is being shown as duplicative of savings
3 within the demand forecast, and only about 20 percent of its
4 magnitude would be a reduction to that demand forecast. So
5 this is a graphical way of showing what the consequences of
6 deciding whether policy initiatives that are uncommitted
7 have effects that are incremental. If a lot of it is
8 incremental, you have a lower and lower demand forecast, so
9 that it is perhaps even as flat as this one. This chart has
10 been used a number of times, it actually appeared in Chapter
11 2 of the 2008 IEPR update in an attempt to explain in visual
12 terms what the controversy is all about.

13 So we launched our project, as Commissioner Byron
14 said, and let me say again, graciously funded by the PUC
15 through an arrangement they already had in place with Itron.
16 The Energy Commission has funded Itron now since the
17 beginning of this calendar year, as the PUC's contract with
18 them expired. We undertook three particular subset
19 projects, upgrading energy efficiency in the base forecast,
20 itself, developing these incremental savings estimates that
21 are the focus of today, and trying to determine whether
22 SESAT or some other capability is one that we should bring
23 in-house and use in future cycles.

24 For the forecast, I will just go through this very
25 quickly, we ended up deciding that an emphasis on IOU

1 program savings was the most cost-effective way to use
2 Itron's assistance. We ran into some significant
3 difficulties acquiring the kind of evaluation measurement
4 and verification data that we desired, and one of the things
5 that this project has surfaced more visibly, and that I will
6 probably have some more to say about in our recommendations
7 later this afternoon, is that some aspects of how EM&V has
8 been conducted over time really only reveal themselves when
9 we are doing a forecast of this sort. The PUC typically
10 makes major focus on these EM&V results in terms of the
11 short term, in terms of what does it mean for incentive
12 payments and those program cycles wherein utilities were
13 authorized instead of payments, or in perhaps redesigning
14 programs for the next cycle, but issues of long term savings
15 through decay, through replacement, through just basic
16 fundamental engineering analyses of lifetimes and what the
17 distribution of that is, those issues rarely find themselves
18 coming to a policy consequence in the PUC's proceedings
19 because they are mostly short run. It is when we are trying
20 to make use of these data for the long run playing out, the
21 life of these energy efficiency measures over 10, 15, 20
22 years, depending on the item in question, that is where
23 these long term consequences are really showing up to be
24 critical. And more will be needed to improve upon EM&V
25 efforts going forward.

1 We of course concluded the 2009 IEPR just a few
2 months ago, it included both the technical upgrades and the
3 incorporation of what finally became the 2010-2012 program
4 cycle in that forecast, it reduced that forecast noticeably,
5 and Chris will show some consequences of that in terms of
6 the differences between the 2007 and 2009 IEPR Demand
7 Forecasts, and then the further reductions if these
8 incremental savings are used as the PUC staff intends them
9 to be used.

10 A little bit about our effort with Itron. Itron
11 was helpful in pointing out a number of things that were
12 areas where our end-use models could be updated. In some
13 respects, they were using data in a faster turnaround cycle
14 than we were, some of that still remains in front of us. Of
15 course, we had to deal with the fact, as I just mentioned,
16 that the definition of policy initiatives established by the
17 PUC in the 2008 goal process included as goals the 2009
18 through 2020 period. Some portion of that has now gotten
19 the status of being committed and is therefore included in
20 the forecast, so there are adjustments necessary to, in
21 effect, track how the passage of time from the PUC's goal
22 setting proceeding has resulted in some of those efforts
23 being incorporated in the forecast itself. We had to modify
24 the SESAT model to make it be more consistent with the
25 actual 2009 IEPR Forecast that was adopted, in part because

1 the fundamental Econ Demo drivers are different and, in
2 part, because we used increasing electricity prices over
3 time when the goals update process had not, and a number of
4 other technical adjustments. And then, finally, where there
5 still remained modeling ambiguities, we had to determine
6 some mechanism whereby we would resolve those so that we
7 could actually produce incremental savings that we were
8 comfortable with.

9 These five bullets identify the major elements of
10 the Staff Report and the Appendix. A staff report authored
11 principally by Chris Kavalec and myself, an appendix with a
12 glossary of terms, an attachment written by Itron, and
13 bundled or collated separately because it is so large, a
14 detailed focus on the methods and the results, and then two
15 attachments written by the PUC Energy Division staff, one
16 focusing on the PUC's goal setting process, and one
17 speculating, I guess, would be one way to say it, or
18 highlighting, foreshadowing, how it is these results may get
19 used in the PUC's forthcoming procurement planning process.
20 And on the goal setting, one of these, Carmen Best of the
21 PUC's Energy Division will give you a little bit more
22 history in just a moment.

23 So these are the steps that remain. To the extent
24 that the technical documentation prepared by Itron, or the
25 policy documentation prepared by staff needs to be tweaked

1 as a result of the comments and discussion at the two
2 workshops that we have had, we will need to do that. We
3 are, of course, conducting this workshop today. There are a
4 set of questions, I believe, attached to the Agenda, and
5 parties have been given an opportunity to submit written
6 comments. We will want to receive those and see what people
7 have to say, incorporate that most likely in the Staff
8 Report. The Energy Commission will need to transmit to the
9 PUC the final version of all of this documentation with some
10 sort of cover letter endorsing it for use in the LTTP
11 proceeding, and that will, in effect, close out the PUC
12 staff's request and the Energy Commission's agreement to
13 conduct this proceeding and deliver it into the 2010 LTTP
14 Proceeding. We will, of course, as staff have many areas
15 where we want to consider improvements for the next cycle,
16 both in our Base Forecast and in the parallel Incremental
17 Uncommitted work that we will undoubtedly do again for that
18 cycle, and we will of course get some guidance from the IEPR
19 Committee about what areas to focus on in so doing that.

20 So that completes my presentation. Before Carmen
21 comes up and gives hers, are there any questions?

22 COMMISSIONER BYRON: Dr. Jaske, we are going to
23 see you again, so we will have another shot at him. Do you
24 have any questions for him? You know, I would just like to
25 go back briefly to your slide 10, the graphical depiction of

1 the overlap, and I guess I just have a quick comment for
2 everyone here, and that is that this is really a
3 transformational effort here. We get really kind of wrapped
4 up in the details, but we are now not just reducing energy
5 demand or, I should say, lowering the -- reducing the slope
6 of the curve, we are now turning the slope into a negative
7 number by our efforts, and is really a transformational
8 time, one that I think all of us in this industry have been
9 working towards for a long time, and so really the bottom
10 line of what we are trying to accomplish here is to turn
11 that curve and to make it a negative slope despite the
12 increasing demand as a result of population increase and
13 electrification of the transportation industry, or whatever.
14 But I guess I just wanted to highlight that and thank you,
15 Dr. Jaske, for your presentation. It does a good job of
16 characterizing what we are about here today. I think we can
17 press on to the next one. Thank you.

18 DR. JASKE: Thank you.

19 MS. BEST: Hello, my name is Carmen Best. I am
20 here representing the CPUC, the Energy Division today. I
21 have three things that I wanted to share today. I was going
22 to go through the key decisions on goals since 2004 from the
23 CPUC, how the CPUC is tracking the achievement of cumulative
24 goals, and share some additional graphics that illustrate
25 how goals have changed as a result of the aforementioned

1 decisions, and also how we have been tracking utility
2 achievement of cumulative goals. And this is all to
3 highlight some of the content that is in the Attachment B
4 that Mike had cited, there is more detail in there.

5 The key goals decisions started essentially in
6 2004, which is when the Commission had made a commitment to
7 long term savings goals. They basically account for 70
8 percent of economic potential and 90 percent of maximum
9 achievable potential for energy savings over 10 years. They
10 were cumulative, which meant that, in each year, there was
11 the first year energy savings were added to the next to have
12 a cumulative goal, and were also called out for use in the
13 long term planning process, the LTTP Proceeding.
14 Subsequently, there have been other decisions since then
15 that have further expanded the application of the goals.
16 For example, in the risk reward incentive mechanism that was
17 noted earlier, which linked the achievement of goals to
18 earnings claims that the IOUs were able to make, and it has
19 also clarified the expectations and means for the utilities
20 to meet these cumulative targets. For example, in the
21 Decision 07-10-032, there was a further clarification that
22 the cumulative savings could be achieved in a variety of
23 ways and the Utilities had different means of illustrating
24 how they had achieved those goals.

25 In the '08 decision, which is really pinnacle to

1 the analysis that we will hear about later, it adopted a new
2 paradigm, which is the Total Market Gross Strategy, which
3 was a more expansive definition of our goals, and it also,
4 as opposed to just net IOU goals for the 2012 to 2020
5 period, it expanded the time frame that we were looking at
6 and it also adopted these goals on an interim basis pending
7 further study and updates on a regular basis, and that was
8 partly to meet the needs of the CARB proceedings, so they
9 could use that in their Scoping Plans. It also required
10 that 100 percent of this Total Market Gross goal, TMG goal,
11 should be used in long term procurement planning, again,
12 likewise in the '04 decision. So it was a consistent theme
13 that the goals should be used in long term procurement
14 planning. It also characterized the existing '09 to 2012
15 program goals as gross, which was seen as kind of an
16 incremental step to moving to this broader total market
17 gross paradigm. There have been two other decisions in
18 2009, which had an impact on what those goals were, but it
19 did not involve a full reanalysis of the goals or an in-
20 depth study of the goals, but they were -- adjustments were
21 made to better align the numeric goals with the existing
22 potential based on new information that was available on ex
23 ante assumptions, and also rectify a standing issue with
24 SDG&E regarding the portion of economic potential that they
25 were required to achieve.

1 Some of the specific changes in there, and you can
2 see them up on this slide, the first was to remove '04-'05
3 from the definition of "cumulative", in effect lowering the
4 total cumulative goals that would be set for 2012; in
5 essence, there is no make-up of the shortfall or the measure
6 decay from the 2004-2005 period. And that was partly due to
7 methodological reasons and the availability of that long
8 term data. There is also an adjustment made to the therm
9 goals because of interactive effects. Since we are talking
10 about electricity today, I will not get into those in a lot
11 of detail.

12 And then, in the September decision, which adopted
13 the energy efficiency portfolio that we will be working
14 towards for 2010 to 2012, we also did some additional
15 decrements to better align with the ex ante assumptions that
16 the utilities were using, and also based on new information
17 that we had about that, and corrected this error for SDG&E,
18 for example, and clarified what the 2012 goal was because
19 there was some overlap from the '04 decision. And it also
20 clarified that the utilities would be required to make up 50
21 percent of savings from measure decay, and that the PUC
22 would continue to study this issue to see if that number was
23 correct or not. Prior to this, the utilities were required
24 to make up 100 percent of the measure savings decay, and
25 they could illustrate that in several different ways. So

1 that is the essence of the changes that have happened over
2 time. And I will show you a graphic later that shows the
3 incremental differences.

4 The PUC has been tracking the achievement of
5 cumulative goals, which is our way of looking at the long
6 term, and there are two examples of that. In the CPUC
7 approval of the 2010 to 2012 portfolios, in that review
8 process, we looked at both the shortfall from the prior
9 cycle, or the anticipated shortfall in savings where they
10 did not quite meet their goal, and what they need to make up
11 in this cycle. We also considered both 100 percent and 50
12 percent scenarios of making up measure savings decay from
13 the prior cycle. And in the end, we approved program plans
14 that either met or exceeded the cumulative goals for 2012.
15 So, in theory, doing this each cycle you are ensuring that
16 you meet that cumulative goal in the long term.

17 The other area that we have been tracking the
18 cumulative effects is through our EM&V studies and our
19 reporting. The Energy Division's Verification Report, which
20 came out in October of 2009, also took into account the
21 utility shortfall from the prior cycle. That study was
22 dedicated to the 2006-2008 cycle, but it quantified what the
23 shortfall was from the prior cycle to see how far they were
24 from the cumulative goals. In that study, however, we did
25 not incorporate the shortfall of measured decay because we

1 had some data issues on that.

2 COMMISSIONER BYRON: Ms. Best, if I may interrupt
3 for just a moment?

4 MS. BEST: Sure.

5 COMMISSIONER BYRON: Terminology -- shortfall --
6 is that the difference between actual and reported, or
7 actual and expected? What is that?

8 MS. BEST: The shortfall would be the difference
9 between the goal and the reported.

10 COMMISSIONER BYRON: Okay, so it is not the
11 difference between the actual and the reported, then?

12 MS. BEST: No.

13 COMMISSIONER BYRON: Okay.

14 MS. BEST: The actual and the reported, I would
15 consider equal, unless -- what do you mean by actual?
16 Evaluated?

17 COMMISSIONER BYRON: Okay, helping me with terms
18 and hopefully this is helpful for my fellow Commissioners,
19 so "reported" is what the investor-owned utilities report to
20 us as their efficiency savings?

21 MS. BEST: Right.

22 COMMISSIONER BYRON: So you are telling me that we
23 take those as actual?

24 MS. BEST: We take those and then we evaluate
25 them, and that is what I think you mean by "actual." Right?

1 COMMISSIONER BYRON: Yes.

2 MS. BEST: So "reported", we have the "goal," and
3 then we have the "reported" which is in many cases larger
4 than the goal, but once it is evaluated, then we look at the
5 difference between the evaluated and the goal, and that
6 would be the shortfall. So, in any given year, or any given
7 cycle, the utilities must meet that cumulative goal.
8 Therefore, if at the end of the -- if their actual savings,
9 actual evaluated savings, do not meet that goal, then they
10 need to make that up in the next program cycle. They need
11 to have more programs, or programs that exceed -- that save
12 more energy to make up that gap. I have graphics that might
13 help.

14 COMMISSIONER BYRON: Well, and we are just trying
15 to define terms. I think it is a very difficult assignment,
16 and I am glad the PUC has it. And it is really crucial,
17 too, because we are trying to hold the utilities' feet to
18 the fire in terms of reaching these goals.

19 MS. BEST: Right.

20 COMMISSIONER BYRON: Maybe they have the toughest
21 job of all, but yours is to evaluate the relative success of
22 that.

23 MS. BEST: Right.

24 COMMISSIONER BYRON: Sorry to interrupt, please
25 continue.

1 MS. BEST: No problem. And "decay" maybe deserves
2 two seconds of definition, as well. By "decay" of measure
3 savings, I mean, once the unit, a widget of sorts, is
4 installed, it has a certain lifetime, and once that lifetime
5 has expired, the savings also have expired. So therefore,
6 that equivalent savings is no longer available. Or it is no
7 longer on the grid, if you will. And I believe there is
8 going to be a lot more discussion about that going forward.

9 Okay, so the graphic, then, that I wanted to share
10 here is to illustrate how those decisions have had
11 incremental changes on the existing goals that we are
12 tracking for the utilities. The red -- the solid lines show
13 the current goals and where those land. The dotted lines
14 are the prior goals, and the tags on each one illustrates
15 the decision that started that goal and how it was adjusted.
16 So, for example -- oh, and also, all the maroon lines are
17 values that are based on the '04 goals decision, and the
18 blue line are values that are based on the '08 decision.
19 And you will also see at the bottom, we go from a net goal
20 definition in 2004 to 2005, net in 2006 through 2008, and a
21 gross definition from 2009 through 2012, and a total market
22 gross from 2013 to 2020. Would it be valuable to go through
23 what "net" and "gross" means at this point? Would that be
24 helpful?

25 COMMISSIONER WEISENMILLER: Yes, why don't you do

1 that, particularly in terms of, obviously, when you look at
2 the slopes and all, to the extent you can explain the
3 features of the graph in terms of the definitions, that
4 would help.

5 MS. BEST: Okay. So the values themselves have
6 not changed in the '04 or '08 decisions, however, the
7 definitions of "gross" have changed. So, for example, with
8 the "net" in the 2004 through 2008 means that the utilities
9 file, they report a certain level of savings, the PUC goes
10 out to evaluate those savings, they evaluate both the
11 "gross" savings, which means how many widgets were installed
12 and what was the savings associated with those widgets, and
13 then the next step is to apply a "net" factor which is a
14 means to determine whether or not the program that the IOU
15 had invested in had caused that change, so it is an
16 attribution factor. And it is also a means of understanding
17 the cost-effectiveness of that activity. Now, moving into
18 the 2009 through 2012 period, this is not a total market
19 gross paradigm, but it is a gross paradigm, which means we
20 just do those first two steps where we are looking at what
21 the utility reported, what was evaluated in terms of all the
22 widgets that were installed, and what savings there are
23 available on the grid, in essence. But the attribution is
24 not incorporated into this. And there are various reasons
25 for that, I do not know if I want to get into all of those

1 right now, but essentially it was these incremental steps to
2 taking a bigger picture at the market, and the influence
3 that the IOU's could have on energy savings in the state.
4 So, in each of these paradigms, their influence in essence
5 is growing, their potential influence is growing.

6 COMMISSIONER BYRON: Mr. Weisenmiller, I think it
7 is fair to say this is going to get more complicated, not
8 less, but you did say this was going to be fun in your
9 opening comments.

10 COMMISSIONER WEISENMILLER: Challenge is always
11 fun, right?

12 MS. BEST: Okay. So this graphic is another
13 picture of the prior graphic, but it is in bar stacked form.
14 So if you look at the maroon stacks over time, the stacks
15 get increasingly larger because we have -- each year is
16 additive over time, and these striped stacks on top just
17 show where we were with the original decisions. So the
18 maroon on the bottom is where we are now. You will notice
19 that the annual obligations for the IOUs to achieve in any
20 given year, if they keep up with their cumulative savings
21 and do not have a shortfall, and are able to make up the
22 decay, their annual savings expectations stay relatively
23 flat, and likewise for the KW Goals projections. These
24 graphics are not showing any accomplishments yet, the next
25 one will.

1 So the last item that I wanted to share was just
2 one of the ways that another illustration, but I needed to
3 lay it out before I showed the picture, the next slide is
4 going to show the recorded savings of PG&E, just as an
5 example, we have it for all of the utilities in Attachment
6 B. The projected goals will be on the maroon line, and then
7 we will see the reported savings are underneath that. This
8 accounts for measure savings decay and it also accounts for
9 the persistence of the savings over time for the 2006 to
10 2008 programs, but it does not have that for the 2010 to
11 2012 programs. That whole definition kind of falls in line
12 with our view of "committed," as the CEC interprets
13 "committed." But we will see it in a second. The other
14 impacts that the utilities are allowed to count towards
15 their goals are low-income energy efficiency and half of the
16 pre-2006 Codes and Standards accomplishments, which was in
17 agreement with the IOUs from prior cycles.

18 So here we go. This is what it looks like. And
19 the graphic is on the bottom -- or the legend is on the
20 bottom. So like I said, the line going across is, again,
21 the goal that we are shooting for, the purple bar is what
22 the PUC has validated and verified, it is one step in
23 between full evaluation and their reported savings because
24 we have not completed the final ED staff report that shows
25 the evaluated savings. So this is from the 2009

1 Verification Report. So the maroon bars are for 2006 and
2 you see that they decrease over time, which is a reflection
3 of the decay of the measure savings over that time period.
4 The striped line is an approximation of the savings that
5 were accomplished in 2009, but you will note, in 2008, based
6 upon their verified savings, PG&E came right on top of its
7 goal; therefore it would not have any make-up for the
8 shortfall in 2009. In 2009, they came right up to the goal
9 value, so there is not any shortfall that they need to make
10 up in that time period. Likewise, in 2010, 2011, 2012, they
11 are over by a small portion of their goal, but these are not
12 evaluated yet, so presumably these values would go down once
13 the programs are implemented and we assess how well they
14 did. It is also conceivable that they could go up. But
15 there will be a few more adjustments when the EM&V results
16 come in and we find out what the actual savings were. But
17 in 2012, this was a foundation of our adoption of the PG&E
18 Portfolio Plans because they were on target to meet their
19 goal for that time period. And likewise for the megawatt
20 savings, same scenarios, the maroon bar is the 2006 savings,
21 the purple bar is the low-income and pre-2006 Codes and
22 Standards, and the striped is 2009, the blue is the 2010
23 through 2012 projected savings from the IOUs. So those were
24 the numbers that they filed with the PUC saying, "We shall
25 achieve these in this portfolio." You will note that they

1 do not have as much cushion in this scenario as they did in
2 the prior with the KWH goals. So we will be keeping an eye
3 on that, but it does not preclude them from finding other
4 means and ways to meet that goal. Any other questions?

5 COMMISSIONER WEISENMILLER: Yeah, actually I would
6 like to get a sense of what your priorities are in this area
7 for the next, say, two years in terms of enhancements of the
8 methodology, or what.

9 MS. BEST: Well, I think the first priority is to
10 ensure that the utilities do go out and get the savings that
11 they are planning to get for this 2010 through 2012 cycle.
12 From an EM&V perspective, which is the team that I
13 represent, we definitely want to fully account for what
14 happened in 2006 through 2008, and get a better number on
15 2009 that is more reflective of actual savings that happened
16 in 2009. But in terms of priorities, I mean, it is really
17 kind of a mechanical process for tracking it based on what
18 the Commission has decided what the goals are and what they
19 are supposed to achieve, so it is kind of -- better
20 accounting is what we are looking at right now from a staff
21 perspective.

22 COMMISSIONER WEISENMILLER: Thanks.

23 MS. BEST: I do not portend to reflect what the
24 Commission's view of this -- what this means. I think my
25 colleague, Simon Baker, will have more to say about that.

1 COMMISSIONER WEISENMILLER: Okay, thank you.

2 COMMISSIONER BYRON: Ms. Best, thank you for being
3 here. In fact, you know, we always joke about how the PUC
4 sends us their best, and they have done that again.

5 MS. BEST: Literally.

6 COMMISSIONER BYRON: Yes.

7 MS. BEST: Thank you.

8 COMMISSIONER BYRON: Any particular reason that
9 you are showing PG&E? Are you picking on them, or are they
10 your best example? Or --

11 MS. BEST: No, they always come up to the top for
12 whatever reason, they were just the first one that I had
13 done, so they are on the top of the -- they were at the top
14 of the attachment. But all of the IOUs are in that
15 attachment, so you can look at all four of them.

16 COMMISSIONER BYRON: A couple of questions if I
17 may.

18 MS. BEST: Please.

19 COMMISSIONER BYRON: And since you have PG&E up
20 there, I suppose that is fair because I was in PG&E service
21 territory this weekend, you know, I live in different
22 service territories during the week, it seems, but I went
23 into my local hardware store and I bought one of those
24 widgets you were talking about, they had a tremendous sale
25 on, \$.25 for a CFL. And I think, just to show you how

1 difficult EM&V is, I go, "My word, I have got to buy some of
2 these. This is just too good to pass up." So I buy dozens
3 of them, right? Oh, what is a few dollars? No limit. So I
4 take them home. I am an Energy Commissioner, I give them to
5 my friends, say, "Here, have a CFL." How do you track this?
6 I mean, all of mine, none of them got installed, they got
7 put in a box and they are up on the shelf, so when my old
8 bulbs go out, you know, these will get plugged in. And
9 then, of course, I have got that problem that my wife might
10 not like the color of those things and she will take them
11 out, unbeknownst to me, and -- I am just trying to describe
12 a process that I think all of us go through, mixed -- there
13 is no way to really quantify all this, and so this decay and
14 this notion of what gets plugged in and what does not, very
15 complicated, very difficult. So the measurement
16 verification is crucial here, and I use the CFL example
17 because I think it is -- if I recall, it is the best of the
18 so-called widgets that we have got for this embedded energy
19 efficiency, correct?

20 MS. BEST: It is the one that has been used the
21 most, so far. It makes up a very large portion of the '06-
22 '08 portfolios, over half of the claimed savings. So I will
23 direct you all to the recently published series of EM&V
24 Reports to get more detail on how each one of those issues
25 you raised were handled. There is -- we have done analyses

1 of tracking where those bulbs have gone, we have done phone
2 calls, called hundreds of thousands of customers to find out
3 if their bulbs are still installed or not, we have called
4 the retailers to find out where they put them and how they
5 advertise them, we had field staff out in stores looking to
6 see which bulbs were on which shelves. It has been an
7 extremely intensive process and I would also note that this
8 is the first year that the CPUC has directed those
9 evaluations with the help of an army of contractors that go
10 into the field to do all this work, and just in the past
11 week all of our EM&V studies have been posted to the public
12 site after getting review from the IOUs and other
13 stakeholders. So a more comprehensive report that shows it
14 all in one place will be coming out in the middle of April,
15 April 15th is when that draft report should be coming out.
16 But all the data that is going to support that is in our
17 contractor reports. It is very complicated.

18 COMMISSIONER BYRON: Yes, it is, and very
19 important, too. And, you know, part of why we are here
20 today is to discuss this embedded energy efficiency in our
21 demand forecast, and I think it points to how difficult that
22 is to determine, the accuracy of that.

23 MS. BEST: Right.

24 COMMISSIONER BYRON: And a lot of comments I
25 suspect we may hear later on today center around the

1 accuracy of the forecast, but you can see the assumptions
2 and the information that we rely upon are extremely
3 important, as well. So I do not mean to anticipate those
4 comments, but it is not just the forecast that is at
5 question here.

6 MS. BEST: I would agree.

7 COMMISSIONER BYRON: Okay, thank you, Ms. Best.

8 MS. BEST: You are welcome.

9 MS. KOROSEC: All right, next we will hear from
10 Dr. Kavalec.

11 DR. KAVALEC: Good afternoon. I am Chris Kavalec,
12 in case you cannot read it on the slide there, from the
13 Demand Analysis Office. I am here to give an overview of
14 the methods we used in this incremental uncommitted analysis
15 and present some of the key results, but first I am going to
16 give a very brief review of our 2009 IEPR Demand Forecast
17 and talk a little bit about the concept of a managed
18 forecast. As you probably know, the 2009 IEPR Forecast is
19 the reference forecast, or the starting point, for this
20 incremental uncommitted analysis, and as Mike mentioned
21 earlier, the general rule for our forecast is we include
22 committed efficiency savings only, that is, initiatives that
23 have been finalized or firmly funded, have a specific
24 program plan, so that we have something to work with in
25 terms of forecasting. And you will see as we start talking

1 about the uncertainties regarding uncommitted impacts why we
2 have this general rule.

3 Typically when we do our forecast, we focus on
4 what we call transmission planning areas, but that would not
5 do for this analysis because we are interested in IOU
6 service territories, which differs slightly from our defined
7 IOU planning areas. But fortunately we also do a sales and
8 a peak forecast for the IOUs by service territory. And
9 heading down the road toward a managed forecast, we are at a
10 point, starting at a point already below that in the 2007
11 IEPR, and that is because of the economy, more efficiency
12 impacts, higher rate projections, we assume a 15 percent
13 rate increase in the '09 IEPR vs. flat rates in the '07
14 IEPR, and more self-generation which does not affect the
15 consumption, but it does affect sales and peak.

16 So first off, here is a comparison of sales for
17 the three IOU service territories combined for the '07 and
18 '09 IEPRS. And you will notice on the left-hand side there
19 the graph, the impact of the current recession and, after
20 the recovery, the '09 forecast never catches back up to the
21 '07 forecast for the other three reasons that the forecast
22 is lower -- more efficiency impacts, higher rates, and more
23 self-generation, so that by 2018, which is the last year
24 forecast in the '07 IEPR, we are 7 percent below the '07
25 forecast.

1 Same comparison for peak, although the difference
2 is not as large, and that comes mainly from our observations
3 that, so far, in the current recession, peak demand has not
4 fallen by as much as energy demand, so we are only 5 percent
5 below in 2018 vs. 7 percent.

6 A word about the managed forecast. We are
7 starting with the '09 IEPR forecast and we are subtracting
8 off demand-side resources like energy efficiency, combined
9 heat and power, PV systems, and so on. And Simon Baker from
10 the CPUC will talk a little bit more about the managed
11 forecast later this afternoon, and we also have a discussion
12 in Attachment C of our incremental uncommitted report. But
13 a reminder, this analysis we are talking about today is
14 looking at the further energy efficiency component only.
15 The other demand side resource adjustments, we will leave up
16 to the CPUC.

17 Okay, on to the analysis. Our mission that we
18 chose to accept was to estimate the incremental, or
19 additional impacts of three CPUC-defined efficiency
20 scenarios for 2013 to 2020, and some terminology here. In
21 our analysis, we refer to 2012 and before as the uncommitted
22 period because 2012 is when the IOU committed programs end
23 and the period 2013 to 2020 is the uncommitted period. So
24 we are looking at the incremental impacts of these
25 scenarios, accounting for overlap between these uncommitted

1 initiatives and the committed savings in the 2009 IEPR
2 Forecast during the uncommitted period.

3 These three scenarios which we call the high, the
4 mid, and the low, are based on different assumptions
5 regarding the four efficiency categories that Mike Jaske
6 discussed earlier, and the next presentation by Mike Ting
7 will go into some details about the assumptions regarding
8 these initiatives. But, for example, the scenarios vary by
9 the levels of incentives assumed for the IOU programs, they
10 varied by the number of revisions assumed for the Title 24
11 standards between now and 2020. And these scenarios are
12 basically identical to what was done in the 2008 Goals
13 Study, although updated to account for the passage of time.
14 So, for example, in the 2008 Goals Study -- and the Goals
15 Study, again, is what forms the basis for the current CPUC
16 efficiency goals -- in the 2008 Goals Study, there were
17 Title 24 impacts, revision impacts, estimated for 2008 and
18 2009, but we all know that Title 24 was not revised until --
19 or the revisions do not go into effect until this year, so
20 therefore the impacts in 2008 and 2009 had to be eliminated
21 from the analysis.

22 Another reminder, what we are doing here is a
23 little bit different from our typical forecast in that we
24 are not projected a reasonably expected to occur, most
25 likely to occur, efficiency future. We were given three

1 specific reasonable scenarios and asked to look at the
2 incremental impacts relative to our forecasts of these
3 scenarios. Okay, so we are not saying anything about the
4 likelihood of these scenarios, whether there is a more
5 likely scenario, okay? We are saying nothing about that.

6 COMMISSIONER BYRON: Well and therein is the rub,
7 perhaps, Dr. Kavalec. If I were to press you and ask you as
8 my expert, which one of these three scenarios do you find
9 the most reasonably expected to occur, could you say
10 anything about that? Or does that require additional
11 analysis? Or are you going to defer to Itron?

12 DR. KAVALEC: No, I would have to defer to the
13 CPUC and I would not want to attempt to influence their
14 decision. If they want me to offer my opinion, I could.

15 COMMISSIONER BYRON: So you see that as a policy-
16 setting issue, then, that it is -- is that what I am
17 understanding you are saying?

18 DR. KAVALEC: Yeah. What we did was make our best
19 effort to identify the impacts of these three scenarios --
20 which one is going to be chosen, the low, mid, or high, is a
21 policy call that we are leaving up to the CPUC.

22 COMMISSIONER BYRON: Well, I think you should
23 defer, then, giving your opinion until they ask for it.

24 DR. KAVALEC: Yes.

25 COMMISSIONER BYRON: But that is interesting,

1 okay, thank you very much.

2 DR. KAVALEC: Okay, for this analysis, we relied
3 on Itron's model referred to as SESAT, which is a relatively
4 simple spreadsheet model designed specifically to look at
5 efficiency scenarios and, in turn, SESAT uses output for
6 estimated uncommitted IOU program impacts from Itron's asset
7 model, which is a real fancy behaviorally-based model
8 designed to estimate utility program participation based on
9 the costs and benefits of individual efficiency measures.

10 And then preparation for this analysis, we and
11 Itron matched inputs for our respective models, that means
12 SESAT and our Energy Commission Forecasting Model, as
13 closely as possible, and when I say "inputs," I am talking
14 about things like projected number of homes, projected
15 commercial floor space, appliance saturations, and so on.
16 Once we were done with our IEPR forecast, we provided Itron
17 detailed data on committed savings at the end-use level, as
18 well as peak to energy ratios so that they could estimate
19 peak savings along with energy savings.

20 Now, despite our diligent efforts to reconcile the
21 two models, we found that output, meaning electricity sales
22 between the two models differed in a non-trivial way in
23 2012, the last year of the committed period, and we did not
24 have the time or the resources to fully account for this
25 difference. So what we did was basically to scale the two

1 models so that they were identical in 2012, in other words,
2 we zeroed out the difference in 2012, and then did our
3 incremental analysis from 2013 on.

4 COMMISSIONER WEISENMILLER: How different were
5 they?

6 DR. KAVALEC: It depended on the scenario and I
7 would have to ask Itron because I do not have the numbers in
8 front of me, the differences, but it is in the report, it is
9 shown in the report.

10 COMMISSIONER WEISENMILLER: Okay.

11 DR. KAVALEC: As I say, they were not trivial,
12 they were more than 1 or 2 percent, and they were coming
13 mainly from differences in estimates of IOU programs in the
14 two models.

15 COMMISSIONER BYRON: And it really did not kick in
16 until 2012, the significant incremental difference --
17 significant difference?

18 DR. KAVALEC: Yeah, okay, I should say differences
19 in the pre-2013 period, and the differences were highest in
20 2012.

21 COMMISSIONER BYRON: Yes, and we zeroed them out
22 so we are carrying forward that era, perhaps --

23 DR. KAVALEC: Yes, we assumed they away. And we
24 would have preferred not to do this because, when you scale
25 like this, you introduce additional uncertainties. But from

1 a policy point of view, this is not totally inconsistent
2 because the total market gross goals, meaning goals that are
3 in terms or that incorporate not just IOU programs, but
4 other efficiency initiatives like standards, they do not
5 kick in until 2013, so non-IOU program efficiency initiative
6 impacts would not have counted toward the goals anyway until
7 2013. So that sort of minimizes a little bit the problems
8 caused by this scaling of the two models.

9 Okay, the value added in this analysis relative to
10 past work is that we are explicitly accounting, or
11 estimating, overlap between committed savings and
12 uncommitted savings in the uncommitted period. And to
13 understand how we did the accounting for this overlap, the
14 first thing to note is that we did this analysis at the end-
15 use level, so we are dealing with metrics like UEC's, Unit
16 Energy Consumption; for example, the average amount of
17 energy used by a refrigerator in a single-family home in a
18 given year, that is a UEC. And the commercial equivalent,
19 EUI, Energy Use Intensity, which measures average end-use
20 energy use per square foot of commercial floor space. And
21 our overlap culprits between committed and uncommitted
22 included IOU Programs since, although our committed IOU
23 Programs end in 2012, their effects persist into the
24 uncommitted period, so there is some overlap between
25 committed and uncommitted IOU Programs in 2013 to 2020.

1 Naturally occurring savings -- by "naturally occurring," I
2 am talking about savings that occur even without IOU program
3 incentives or standards. Both SESAT and the Energy
4 Commission model incorporate naturally occurring savings, so
5 there is some overlap there, and the Huffman Bill. In the
6 '09 IEPR Forecast, we included some additional residential
7 savings in the anticipation of the Huffman Bill, so
8 naturally there is going to be overlap between those
9 additional residential lighting savings and the Huffman Bill
10 savings coming from SESAT.

11 For the specific overlap calculations, we
12 transformed savings at an end-use level for both committed
13 and uncommitted impacts to percentage terms, and the reason
14 we did that is we are dealing with two different modeling
15 platforms that differ slightly at the end-use level. So we
16 wanted to avoid a case where, if we used the absolute
17 magnitude of savings, we could end up with a negative UEC
18 once we subtracted committed from uncommitted. So therefore
19 we stuck with percentages.

20 These percentage reductions in committed savings,
21 from committed savings, at the end-use level, were netted
22 out, subtracted off the percentage impacts from the
23 uncommitted initiatives coming from the SESAT Model, to give
24 us the incremental uncommitted. So, in plain English, let's
25 say that SESAT predicts that average residential lighting

1 savings is going to drop by 40 percent in 2020 relative to
2 2006, which is our base year, and committed savings from the
3 '09 IEPR forecast lead to a reduction in average lighting of
4 18 percent. Well, the difference, 40 minus 18, or 22
5 percent, becomes the incremental uncommitted effect. So
6 there is nothing really complicated going on here in terms
7 of the methodology, it is just a lot of details to keep
8 track of and a lot of data to work with.

9 COMMISSIONER BYRON: But, Dr. Kavalec, isn't the
10 key whether or not that data is accurate, in other words,
11 the example I used with my buying of CFL's this weekend,
12 really trying to translate that up on a state-wide basis is
13 really problematic, isn't it?

14 DR. KAVALEC: It is. That is one of the -- I
15 mean, we will talk more about uncertainties in later
16 discussions, but certainly that is at the forefront. We
17 need better data on real world efficiency impacts.

18 Okay, so once we had these percentage net impacts,
19 they were reconverted to energy terms and multiplied by the
20 appropriate units, number of homes, or amount of commercial
21 floor space, to give us total incremental uncommitted
22 savings for specific end use, and then all the different end
23 uses were added together. And then we converted these
24 energy savings into peak savings using peak to energy
25 ratios.

1 Finally, some results. These numbers are
2 incremental uncommitted savings and therefore they can be
3 subtracted directly off the '09 IEPR forecast. For the
4 three IOUs as a whole, for the three scenarios, on the
5 energy side we are looking at a range between 10,700 and
6 14,400 gigawatt hours. And on the peak side, 4,000 to 6,500
7 megawatts.

8 In terms of load growth, this next slide gives the
9 percentage of energy growth avoided because of these
10 incremental uncommitted savings. So, for the IOUs as a
11 whole, in the low scenario, 57 percent of the growth between
12 2008 and 2020 predicted in the '09 IEPR forecast is avoided
13 by these incremental uncommitted impacts; up to 77 percent
14 in the high case; and the peak numbers range from 56 percent
15 to 91 percent. You will notice that PG&E's peak numbers are
16 higher than the other two IOUs, and some of that is due to
17 the differential impact of these initiatives. But most of
18 it is due to a lower short-term growth rate for PG&E for
19 peak relative to the other two IOUs. So if we look at the
20 same thing, except using the time period 2012 to 2020, that
21 difference for PG&E relative to the other two IOUs
22 disappears. But still we have basically a notable result
23 here, and that is that peak percentages are higher than
24 those for energy, and the reason for that comes from the big
25 bold initiatives, as Mike Ting will talk about a little bit.

1 The big bold initiatives, since they target HVAC, have more
2 of an impact on peak in relative terms than they do on
3 energy.

4 Okay, this slide looks at these incremental
5 uncommitted savings relative to the '09 IEPR forecast. That
6 is, the bottom three lines there below the green line that
7 is what our forecast would have looked like had we
8 incorporated these incremental uncommitted savings for each
9 of the scenarios. Same thing for the peak side, but more of
10 a reduction by 2020, as I mentioned, between 8 percent and
11 12 percent in 2020. And you will notice in the mid and high
12 cases, the red and black line, that we actually have
13 declining load growth between 2012 and 2020. And this is
14 maybe the most critical result from this analysis, and it is
15 something that we all need to think about: are we
16 comfortable in our energy planning under the assumption that
17 load growth is going to be negative for an extended period
18 of time, for maybe the first time in history, or the first
19 time in a long time? Do we want to be more conservative and
20 choose the low case? Do we want to come up with an even
21 more conservative case? Do we want to plan for
22 contingencies in case these efficiency efforts do not come
23 to fruition? So I am just throwing these questions out
24 there, and I will just say that I am glad I do not have to
25 make these decisions.

1 Okay, what is the distribution of the uncommitted
2 savings impacts, you ask. On the energy side, the main
3 contributor, by far, is IOU programs responsible for almost
4 60 percent of the impacts in 2020, followed by the Big Bold
5 Initiatives. On the peak side, as I implied earlier, Big
6 Bold Initiatives have a much larger effect, and thus we have
7 a larger peak effect vs. energy. The Big Bold accounts for
8 just about as much as IOU Programs -- on the peak side,
9 around 38 percent.

10 This next graph is just meant to give some
11 perspective on these incremental uncommitted savings vs. all
12 of the committed savings that are included in the '09 IEPR.
13 That includes standards, IOU programs, naturally occurring
14 savings going back to 1975, the dark blue slice on the
15 right, being the incremental uncommitted. This is a little
16 bit apples and oranges because we are talking about two
17 different base years here -- 1975 for the committed, and
18 2006 for the uncommitted, so it is not the greatest
19 comparison, I just wanted to give you some rough idea of the
20 magnitude of the two.

21 COMMISSIONER BYRON: So, like you say, it is
22 apples and orange comparison, but I think if I am
23 understanding your point, that we are capturing the majority
24 of the efficiency programs in our forecast. Is that what
25 you are saying?

1 DR. KAVALEC: Yeah. In historical terms, this is
2 a pretty small slice, and this is the energy slice, so it is
3 smaller than the peak side.

4 COMMISSIOENR BYRON: Maybe this is an
5 inappropriate question, but is anything in the past in
6 question here? No one seems to be questioning how we did in
7 the past, I take it, in terms of modeling the embedded
8 energy efficiency.

9 DR. KAVALEC: Plenty of people questioned that in
10 the past during the forecasting process --

11 COMMISSIONER BYRON: Yeah, they questioned it
12 then. The entire interest is going forward, no doubt about
13 it.

14 DR. KAVALEC: Okay, finally, many may wonder about
15 these incremental uncommitted impacts relative to the Air
16 Resources Board Scoping Plan AB 32 goals, i.e., how much do
17 these incremental uncommitted savings contribute toward
18 meeting the AB 32 goals? The first thing is to note these
19 two are not directly comparable because the AB 32 goals are
20 statewide and we are focused on the IOU service territories,
21 and the AB 32 goals use the 2007 IEPR Forecast as a
22 reference, whereas we are benchmarking everything to the
23 2009 Forecast. But making a couple of manipulations, we can
24 give a sort of rough comparison of the contribution of these
25 incremental uncommitted impacts to the AB 32 goals. In

1 2020, the Scoping Plan goal is 32,000 Gigawatt hour savings
2 vs. the '07 IEPR Forecast. The '09 IEPR Forecast has around
3 10,000 Gigawatt hours more committed savings than did the
4 '07 Forecast in 2020, so we are down to 32,000 minus 10,000,
5 or 22,000 away from the AB 32 goal. As I mentioned, the
6 incremental uncommitted savings on the energy side range
7 from between 10,700 to 14,400 Gigawatt hours, and we can
8 project that to a statewide total, making the assumption
9 that efficiency efforts are just as aggressive in the non-
10 IOU areas as in the IOU areas, and noting that IOU service
11 territories are responsible for around three-quarters of
12 statewide sales. Doing that, we end up with an estimate of
13 65 to 90 percent of the Scoping Plan goals being met in 2020
14 from these incremental uncommitted impacts. Again, that is
15 making the assumption that efficiency impacts are similar
16 relative to sales outside of IOU service territories
17 compared to inside.

18 Okay, with that, I will ask the committees if they
19 have any comments or questions.

20 COMMISSIONER BYRON: Commissioner?

21 COMMISSIONER WEISENMILLER: No.

22 COMMISSIONER BYRON: Thank you, Dr. Kavalec. I
23 think we will press on. But as usual, a lot of good
24 information here and we will look forward to hearing
25 comments from others and perhaps there will be some

1 additional questions later.

2 MR. TING: Good afternoon. My name is Mike Ting
3 from the Consulting Analysis Group at Itron. I led the
4 Itron side of the study team to conduct this work. Dr.
5 Jaske and Chris asked me to hopefully give you a little bit
6 more flavor about the specifics of the policy initiatives
7 that were included in the original Goals Study and reflected
8 in the current set of results for the incremental
9 uncommitted analysis, and then talk about the key
10 uncertainty issues from an analytic modeling perspective.
11 And there is quite a bit of detail here, and if I go too
12 fast, please do not hesitate to stop me and ask questions.

13 So this slide kind of gives you an overview of the
14 specific policy initiatives that were included in the Goals
15 Study, and therefore kind of carried over into this work.
16 They have four kind of general categories that are
17 summarized on the left-hand column of this table. We looked
18 at the impacts of IOU Programs, obviously, the Big Bold
19 strategies which were mentioned previously, we also looked
20 at future revisions to Codes and Standards, both at the
21 state level and at the federal level. We did this from two
22 different perspectives, from the perspectives of the IOUs
23 vs. the perspectives of society as a whole, and I will
24 explain the relative merit of doing that in more detail
25 later on.

1 In the right-hand column of this table, it shows
2 you that within each of these kinds of broader categories,
3 we had different components, and I am going to walk through
4 each of those in a little bit more detail. And if I get too
5 into the weeds, or if I go too fast, just let me know. But
6 I do want to try to get to the end, especially to talk about
7 uncertainty. But this is really just to give you a little
8 bit more -- you see these large incremental uncommitted
9 savings numbers and I want to give you a little bit more
10 perspective on specifically which policy initiatives they
11 are coming from, and how.

12 So for the IOU programs, modeling the IOU
13 programs, as Dr. Jaske mentioned before, we were basically
14 replicating the results from the previous potential study
15 conducted by Itron for the IOUs, using Itron's bottom-up
16 asset model, which is an adoption forecasting model, and
17 really the output of that model is the market potential,
18 which is the term to describe the amount of measured
19 adoption and savings that occurs over time in response to
20 specific measure incentives, and those relationships of the
21 forecast is based on the cost-benefit ratios and assessments
22 of market barriers for particular measures, looking at the
23 size of eligible markets, etc. etc. In that respect, we
24 take into account things like cost-effectiveness or simple
25 payback for a particular measure, awareness and willingness

1 levels. Now, we used two particular scenarios of market
2 potential, they are called "full" and "base," and they also
3 have this restricted term tacked onto it, "restricted" means
4 that all of the measures that are considered in the adoption
5 forecast have a total resource cost ratio of greater than
6 .85. So, according to the TRC test of greater than 1.0,
7 that would mean that the costs were lower than the awarded
8 cost benefits. So that gives you the framework for only
9 assessing cost-effective measures, measures that are cost-
10 effective to society. Now, that threshold was dropped to
11 .85 in the '08 Potential Study to try to cast a slightly
12 wider net. I think according to the portfolio rules of the
13 PUC, the portfolio TRC has to pass 1.0, but you can support
14 measures with TRC's lower than 1.0 to support kind of market
15 acceleration for emerging measures. So this is just
16 definitional. "Restricted" means it was restricted to
17 things that were generally cost-effective, according to the
18 TRC test. Now, "full" and "base", the only difference is
19 the level of the measure incentives that were assumed. The
20 base market potential, the incentives were designed to
21 represent the weighted average incentives that were actually
22 used in the '04-'05 program cycle vs. "full," full is kind
23 of the high end, and it is assuming measure incentives
24 equivalent to full incremental costs. That is where the
25 term "full" comes from. So we drew from two versions of

1 market potential, one that is continuing kind of weighted
2 average incentives from the '04-'05 programs, and one that
3 is on the higher end of assuming full incremental cost
4 incentive levels. In addition to market potential, we also
5 forecast the naturally occurring, and that is the amount of
6 customer adoption that would occur in the absence of any
7 utility programs or incentives over the forecast period. So
8 this is the approximation of free ridership, if you will, a
9 more conventional term. But it also includes things like
10 non-participant spillover and long term market effects from
11 strictly a modeling point of view. These are the IOU
12 program, that is the kind of more specifics about the
13 assumptions behind the IOU program forecast.

14 As both Chris and Mike touched on earlier, the Big
15 Bold Energy Efficiency Strategies turn out to be a large
16 part of the total incremental uncommitted forecast. Now,
17 what these are, in case you do not know, this is a term that
18 was coined by Commissioner Grueneich in an April '07 Scoping
19 Ruling, and they were defined to be strategies that promote
20 [quote unquote] "maximum energy savings through coordinated
21 actions of utility programs, market transformation, and
22 Codes and Standards." So this is a departure from -- just
23 that framing is a departure from both voluntary programs run
24 through IOUs and, for that matter, traditional kind of the
25 way that we have framed Codes and Standards in a silo. So

1 this is really a whole market transformation type of target,
2 that is a coordinated action. And within this framework,
3 they define -- she defined -- three specific initiatives,
4 two which were new construction, one of which was targeted
5 as a -- it is called the Small HVAC Initiative, but it is
6 really a retrofit initiative for existing HVAC
7 installations. For today, I am just going to focus on the
8 new construction initiatives in terms of giving you more
9 detail, they make up the vast -- 90ish percent of the total
10 Big Bold impacts, so I am just going to focus on those two,
11 in particular. They are both kind of cast in terms of
12 trying to zero net energy new construction targets. So
13 these are penetration targets -- the way it was laid out is
14 that they were market penetration targets for zero net
15 energy new homes and buildings. And I think Chris mentioned
16 earlier that the '08 Goals Study and this study, we framed
17 the savings impacts from these zero net energy buildings
18 strictly in terms of the efficiency side of zero net energy,
19 so this is not including anything about PV or other types of
20 on-site generation to actually have net zero energy on an
21 annual or a coincident demand basis.

22 The way that we actually implemented this in
23 modeling is that the scoping decision, the scoping rule in
24 April '07 established some penetration targets for zero net
25 energy new homes and buildings, so we followed -- we

1 implemented those penetration targets to try to come up with
2 a penetration weighted savings estimate over time. In terms
3 of the unit savings, I am going to show you a table of the
4 specific unit savings numbers that we incorporated. Now, we
5 had to do a little bit of adjustment to not double-count
6 between -- so this is strictly new construction initiatives,
7 and we did a little bit of adjustments to make sure we did
8 not double-count impacts from new construction programs that
9 were already in the IOU forecast. Generally they offer
10 incentives for builders to hit performance levels better
11 than Title 24, and so we had to adjust the impacts from
12 these Big Bold standards to not double-count impacts from
13 those existing efforts. And I guess one of the important
14 things to note is that, for the residential analysis, the
15 savings from these Big Bold Initiatives were applied to --
16 this is at the bottom of the page here -- water heating and
17 HVAC, Heating, Ventilation and Air-Conditioning. And we
18 scoped it specifically like that in terms of impacts, number
19 one, to stay consistent with the scoping Title 24, and
20 number two, to avoid double-counting with the lighting and
21 appliance measure savings from other scenarios, specifically
22 the Huffman Bill and updates to the Federal Appliance
23 Standards.

24 On the commercial side, the scope of the savings
25 was water heating HVAC and lighting, and again, that is

1 mostly to stay consistent with the scope of Title 24. And
2 we did not have to adjust for the Huffman Bill in new
3 construction because we restricted the Huffman Bill savings
4 to the existing commercial buildings -- I will not bore you
5 with those details.

6 So this table, this is the summary of kind of the
7 specific numbers that are embedded in the savings forecast.
8 Tier 2 and Tier 3 represent the whole building savings
9 thresholds that you have to achieve for the New Solar Homes
10 Partnership Program, so according to that program, you have
11 to hit these whole building savings targets before becoming
12 eligible for PV rebates. Those benchmarks were adopted by
13 the PUC for purposes of defining the Big Bold targets for
14 zero net energy homes, and so there are two separate sets of
15 market penetration trajectories for Tier 2 and Tier 3 homes,
16 and they are summarized as, you know, all homes in 2020 in
17 the high scenario are Tier 2 compliant, and then 90 percent
18 are Tier 3 compliant. Does that make sense? Okay. And so
19 you can see the variation between the high and low cases
20 vary in terms of the market penetration of these zero net
21 energy homes by 2020.

22 This is a similar kind of summary table for
23 commercial zero net energy buildings. In this case, there
24 was only one kind of unit savings assumption. This is a 30
25 percent reduction target and these are all relative to 2005

1 Title 24. Again, it is a 30 percent reduction in HVAC water
2 heating and lighting levels from current Code, and then the
3 penetration targets through 2020, low to high, vary from 40
4 percent to 70 percent of all commercial new construction.

5 COMMISSIONER BYRON: And they would be at 100
6 percent in the high case for 2030.

7 MR. TING: Exactly, yes.

8 COMMISSIONER BYRON: Okay.

9 MR. TING: So I am going to skip over the small
10 HVAC slides in the interest of time. So that is the Big
11 Bold, those literally -- that is the set of input
12 assumptions that then are reflected in the results that
13 Chris showed you earlier. And for what it is worth, they
14 are aggressive, they are very aggressive, and the PUC
15 characterized them as such from the beginning.

16 COMMISSIONER BYRON: In fact, Mr. Ting, this
17 Commission supported Commissioner Grueneich and the Public
18 Utilities Commission when they indeed adopted these Big Bold
19 Energy Efficiency Goals. I prefer to call them the Big,
20 Bold and Beautiful, but that begins to sound a little more
21 like a soap opera, I guess.

22 MR. TING: Okay, so the second kind of big
23 category of policy initiatives is obviously new Codes and
24 Standards. Now, I said earlier that we evaluated them from
25 two distinct perspectives, the IOU perspective of impacts in

1 Codes and Standards, and the societal perspective. And the
2 reason this was important for goal setting is that new codes
3 and standards typically have the impact of obviating
4 existing programmatic efforts in IOU portfolios. So, for
5 example, AB 1109, the Huffman Bill, will essentially kind of
6 remove some of the lighting measures that are available to
7 IOU programs because they kind of become the baseline going
8 forward. So there is an interaction that we wanted to
9 quantify between an aggressive outlook for new Codes and
10 Standards, and what technologies and measures will be
11 available to IOU programs, and what savings might be
12 expected as a result of such interactions. And then,
13 obviously, the flip side is the societal perspective where
14 you want to not just -- you kind of want to look at the
15 total picture, total savings to society, both in terms of
16 savings from new Codes and Standards, and then additional
17 savings from IOU programs that go beyond Codes and
18 Standards.

19 So we kind of looked at -- for each Code and
20 Standard, we kind of looked at it from both sides of the
21 aisle, as it were. The most important ones to do that were
22 the Huffman Bill and revisions to Title 24. We also looked
23 at the societal impacts from Federal Appliance Standards,
24 the only reason that we did not do a flip size from the IOU
25 perspective is that they did not overlap with any of the

1 current program offerings, so there was no interaction
2 there. You know, for full disclosure, we did not -- the
3 scope of the Codes and Standards revisions -- we limited it
4 somewhat, we could not cast the kind of wide universe net
5 mostly from data constraints. I think probably the biggest
6 one at the time was the Title 20 standards that are under
7 development for battery chargers and now televisions, but
8 those were not included in the original study. I will show
9 you the exact scope of the federal standards that we did
10 include a little bit later.

11 So from the IOU perspective, obviously there were
12 two, the Huffman Bill and Title 24. The way that we modeled
13 kind of the IOU perspective on the Huffman Bill was we used
14 CFLs as a proxy for the incoming standards, which turned out
15 to be a pretty good guess relative to what was actually
16 adopted in Title 20. The changes in Title 20 were adopted
17 at the end of last year. There is an interim efficiency
18 level that goes into effect next year, roughly 20 lumens per
19 Watt, it varies slightly according to output buckets. The
20 final standard level is 45 lumens per Watt by 2018, which is
21 roughly the equivalent performance of CFLs. So we modeled
22 -- we estimated kind of the IOU impacts of this Huffman Bill
23 as a phase-out of general service CFL programs over the
24 2011-2018 time period, so this is kind of pushing down the
25 market potential of the IOU lighting programs. That is the

1 type of feedback that we estimated.

2 Likewise for Title 24, every time Title 24 is
3 revised, the IOUs have to revise their new construction
4 programs, and to offer incentives that are then benched to
5 the current standard. To avoid double-counting with the IOU
6 program forecast, we modeled kind of the impacts of
7 revisions to Title 24 as a phase-out of the current new
8 construction programs that were reflected in the Asset
9 Forecast, to make sure we were not double-counting those
10 savings. When we get through the societal perspective
11 slides, I will show you the details of exactly how the Title
12 24 revisions were estimated. So this is the societal
13 version of Huffman and Title 24. Again, for this time
14 around, we got to leverage the way that Title 24 is actually
15 specified relative to General Service Lighting, so again,
16 this is at 20 lumens per Watt starting in 2011 and going up
17 to 45 lumens per Watt in 2018. I will talk about later, one
18 of the uncertainties in modeling the impacts of this has
19 less to do with the cumulative impacts from this type of
20 standard, but more in terms of the year-to-year impacts,
21 since the interim levels are specified by the output of
22 certain product categories. And so we did not quite have
23 enough data to simulate the year/year impacts from these
24 interim milestones that are defined in Title 24. I will get
25 back to that in the end.

1 So from the societal perspective for Title 24, you
2 know, this is ratcheting up Title 24 at regular intervals,
3 typically three-year intervals, although we varied it from
4 low to high, so I think it goes from one revision through
5 three or four revisions through 2020. And, again, these are
6 kind of ratchets, so they are continually kind of creating
7 savings incremental to the previous code baseline. The way
8 that we actually modeled this is that we used new
9 construction rates as a forecast in the IEPR Demand Forecast
10 and used that to create a penetration weighted savings
11 estimate that was consistent with the new construction rates
12 embedded in the IEPR forecast. And, again, the scope of the
13 savings was the same as before, specifically residential
14 savings, it was water, heating and HVAC vs. water, heating,
15 HVAC and lighting in the commercial new construction.

16 So this slide is just trying to summarize the
17 actual values that are reflected in the Title 24 scenarios.
18 The unit savings for each ratchet are the same across low,
19 mid, and high, 10 percent for each ratchet in residential, 5
20 percent for each ratchet in commercial. These were benched
21 to some of the prospective impact estimates from the 2008
22 Title 24 proceedings, that ended up not being adopted, but
23 some building simulation analysis done by architectural and
24 energy helped us provide these 10 percent and 5 percent
25 benchmarks. Now, the periodicity and number of revisions is

1 what does change between the low and high scenarios, going
2 from one revision in the low scenario in an out year, all
3 the way through a regular three-year revision starting in
4 2011 in the high scenario.

5 Now, for federal standards, we drew exclusively
6 from the DOE's published Schedule of Rulemaking, so the last
7 time it was published, well, the one that was most recent
8 schedule that was published during the time the OE Goals
9 Study was issued in January of 2006. Now, the ones, the
10 rulemakings that were in that schedule that were kind of
11 deemed to be the most significant in terms of future impacts
12 were high efficiency clothes dryers, dishwashers, central
13 air-conditioners, room air-conditioners, and then PTAC and
14 PTHP, is Packaged Terminal Air-Conditioning and Packaged
15 Terminal Heat Pumps, so those are both commercial cooling
16 technologies. So, again, this is residential -- clothes
17 dryers, dishwashers, central air-conditioners, room AC, and
18 then these packaged AC and heat pumps in commercial.

19 The way that we modeled the savings, they were
20 modeled as -- ROB stands for Replaced on Burnout, so this is
21 only in the existing buildings, so the reason that we
22 limited the impacts to existing buildings is that we wanted
23 to avoid double-counting with the Title 24 impacts. So
24 Replaced on Burnout is we used an estimate of the useful
25 life of the specific types of equipment to estimate the

1 stock turnover rate in the existing stock. And, as I said
2 before -- oh, this is the reason that they were not included
3 in the Asset Scenarios is that they do not currently pass
4 TRC in California, so they were not included in the full or
5 base restricted market potential portfolios, if you will.
6 So that just means that these are strictly incremental to
7 what is in the IOU Program portfolios that we modeled.

8 COMMISSIONER BYRON: Does this have much of an
9 impact? Does this assumption have much impact on your
10 calculations? I am sorry, I will be more clear. You are
11 looking at the published list of rulemakings from four years
12 ago --

13 MR. TING: It was the schedule.

14 COMMISSIONER BYRON: Right, the schedule, and of
15 course what a difference an Administration makes, there are
16 a lot of changes that have gone on at DOE just in the last
17 year that we are certainly aware of, and that we are
18 involved with in some litigation with the Department of
19 Energy and driving standards. We are very hopeful that they
20 are going to be responsive to California's leadership. I am
21 just trying to get a sense -- so you have to call the play
22 at some point and make your assumptions, I am just trying to
23 get an assessment of how significant these assumptions might
24 be in the calculations that you are modeling -- that you
25 model.

1 MR. TING: In terms of what their current schedule
2 for rulemaking is --

3 COMMISSIONER BYRON: Let's assume the new
4 Administration is going to drive energy efficiency Appliance
5 Standards much harder than the previous one did.

6 MR. TING: You are asking me to venture a guess?
7 Okay. Well, I can say from the '08 Goals Study, the
8 prospective standards on the gas side had a higher relative
9 impact relative to IOU programs and building codes for gas,
10 but that was mostly because residential cooking, for
11 example, has not really been regulated for efficiency, and
12 so the gains -- there is lots of low hanging fruit. We
13 looked at the -- we did not revisit or do any strict
14 comparisons between the current schedule and at what was
15 published in 2006, we did look at the way that the lighting
16 standards were specified because of the Energy Security Act.
17 And the Title 20 specifications for General Service Lighting
18 are the same standards, the same exact standards one year
19 earlier. So the interim standards that you saw before, 20
20 lumens per Watt starting in 2011, is just a one-year
21 acceleration of the federal standard. That does not really
22 -- for clarity, that does not really come close to
23 eliminating incandescent, but then the 45 lumens per Watt is
24 obviously way beyond at the federal standard. Beyond that,
25 I would not venture an order of magnitude guess.

1 COMMISSIONER BYRON: All right, please continue.

2 MR. TING: So these are the specific numbers that
3 are reflected in the final forecast in terms of the input
4 assumptions. You can see the unit savings vary from 10, 13,
5 18 percent, all the way up to 48 percent for dishwashers.
6 And then you have the UL is the effective useful life
7 estimate, and the third column, that feeds back in terms of
8 the stock turnover rate. But these are fairly long-lived
9 measures, so over the forecast period, these were not huge
10 stock turnover rates, put it that way, certainly not near
11 complete stock turnover. And then the specific periodicity
12 assumptions, so these are following the rulemaking schedule
13 and then we assumed a lag in the actual effective
14 implementation date. So it is generally about a five year
15 lag, I think, across the board -- it is a five-year lag
16 across the board, which is typical for Federal Standards.

17 So I have two more slides just in terms of to give
18 you a little bit more perspective on the modeling that we
19 did before we talk about uncertainties, and they both have
20 to do with interactions. We talked about the interaction
21 from the Codes and Standards and IOU Programs, and this is
22 an illustration -- a specific illustration of the relative
23 magnitude of that just in the case of the Huffman Bill,
24 right, this is the biggest animal in the room when it comes
25 to impacting future IOU portfolio offerings. Without

1 Huffman, you can see in 2020, you can get to -- let's see if
2 I am reading this right -- so there is the general
3 interaction between taking a new standard that takes a
4 measure off the table after a certain period of time; now,
5 we also have to be careful in tracking, depending on if you
6 are assuming the full market case for IOU programs, vs. the
7 base market case, the amount of CFL adoptions by the time
8 that the Huffman kicks in differs, right, because you are
9 offering less incentives -- more incentives in the full case
10 -- vs. kind of business-as-usual incentives in the base
11 case. And so that affects the true incremental impacts from
12 the new standards because you have already got society to a
13 certain kind of installed level of efficiency for lighting.
14 Does that make sense? Okay. But depending on how
15 aggressive you are, assuming with IOU programs, we want to
16 make sure that we are not double-counting, even in between
17 these different kind of full vs. base cases. And this is
18 the size of the impact, you know, if we assume kind of
19 current weighted average incentives, the net impacts from
20 the Huffman Bill are 12,000 by 2020. If we assume that
21 utilities are pedal to the metal, whole portfolio of full
22 incremental cost incentives, the net impacts from Huffman
23 are dramatically less -- 8,000. So that is just to give you
24 -- we were looking at and trying to identify as many areas
25 of potential double-counting as possible, which is one of

1 the main objectives analytically in these types of studies.

2 There is a similar type of interaction between Big
3 Bold and Title 24, so now we are not talking about the
4 difference between interaction between IOU programs and
5 Codes and Standards, but between different policy
6 initiatives, so the Big Bold Initiatives vs. zero net energy
7 homes, and different trajectories for Title 24. So the more
8 aggressive you are with Title 24, the lower the net impacts
9 from a zero net energy home initiative. And this
10 illustrates the relative magnitude of that impact. In the
11 high case, it is roughly 3,000 Gigawatt hours in 2020,
12 varying down to about 1,500 in the low case. So those
13 interactions are significant. There is a trade-off between
14 how aggressive you are in Title 24 and how much true
15 incremental net savings you can get from achieving the Big
16 Bold targets for net zero energy homes.

17 COMMISSIONER BYRON: Okay, so I think you said it,
18 but that is what I am missing in that figure, it is in the
19 year 2020, correct?

20 MR. TING: Oh, sorry, yeah, it is on the Y Axis.
21 Correct.

22 COMMISSIONER BYRON: Okay, thank you.

23 MR. TING: So now I am going to switch to just a
24 couple of slides on uncertainty. Any forecast -- this is
25 probably obvious, but it needs to be said -- any forecasting

1 exercise is trying to predict future outcomes and is
2 inherently uncertain, period. This effort had the
3 additional challenge of trying to interact inputs and
4 outputs from two different modeling platforms, forecasting
5 modeling platforms, in a way that avoided systematic bias,
6 and somehow achieved the reasonable level of internal
7 consistency. And that was really the focus of our efforts
8 was just that, trying to avoid as much systematic bias as
9 possible. Now, reconciling all the differences between the
10 '09 IEPR forecast and the '08 Goals Study was realistically
11 impossible in the scope of this effort. So it is just,
12 again, full disclosure. We focused our efforts on trying to
13 identify and reconcile as many of the most important
14 differences as we could. And this is specifically to the
15 key inputs, the modeling methodologies, and the scenario
16 assumptions. And the specifics are in these four sub-
17 bullets here. We looked specifically on how the end-use
18 baselines were characterized and tried to reconcile any
19 major differences, and adopting common forecasts of energy
20 service demand drivers, so these are the econ demo variables
21 that Mike Jaske talked about earlier, housing counts,
22 commercial floor stock, new stock additions over time. We
23 framed cumulative savings relative to a common base year,
24 and this sounds obvious, but as you saw before the CEC
25 forecasting model has a 1975 base year, that is always kind

1 of their historical reference point, and so we used 2006, as
2 Chris mentioned earlier, which is a very non-trivial step.
3 We expressed savings in common metrics, so percent
4 reductions in base year, i.e., 2006 UECs and UIs. And
5 through a lot of kind of close collaboration between the
6 study team and the CEC forecasting team, we tried to
7 identify areas of duplication across the two forecasts in
8 terms of the savings delivery mechanisms that were being
9 modeled, and tried to develop methods that we both agreed on
10 to address any areas of duplication. That is where we are
11 able to focus our efforts for this exercise. Now,
12 obviously, some differences do remain with an unknown level
13 of uncertainty from a quantitative point of view. We did
14 try to isolate and discuss, based on the professional
15 judgment of the study team, what we thought were the most
16 significant analytic caveats and uncertainties, each of
17 these are discussed in more detail in the Itron Report. So
18 these five are -- they are differences in the electricity
19 prices that were assumed over the period. I think both
20 Chris and Mike mentioned that the IEPR forecast has an
21 increase of 15 percent in real terms from 2013 forward --
22 2010 forward. The electricity price assumptions in the
23 asset forecast were constant in real terms, only growing in
24 inflation. So that in and of itself could not be reconciled
25 in the scope of this project. We mentioned before and

1 actually Commissioner Byron, you touched on it earlier, that
2 there are differences in the committed savings estimates
3 through 2012. We think we know that the biggest causes of
4 those differences are mostly related to the fact that the
5 incentive levels that were assumed in the asset forecast
6 were different than were used in the CEC forecast. The CEC
7 forecast used actual incentive levels from program
8 accomplishments and then the proposed levels for the next
9 cycle, the 2010-2012 cycle, vs. the asset forecast used this
10 weighted average from the '04-'05 cycle for the base case,
11 and then 100 percent incremental cost levels in the full
12 case. So the asset measure level assumptions, one was below
13 and one was above what the values of the CEC used, which
14 were a closer reflection of actual measure incentives
15 through the committed period.

16 I mentioned earlier that there is some uncertainty
17 in the annual savings trends and this is most important
18 relative to the Huffman Bill and the impacts from the
19 Huffman Bill and the Big Bold Initiatives. For the Huffman
20 Bill, I touched on it earlier, the interim simulating the
21 impacts, the year-to-year impacts from the interim
22 standards, those are the ones that start taking effect in
23 2011, they are specified by output bin, meaning, you know,
24 you have a high output group of lamps, all the way down to a
25 low output group of lamps, and they each have slightly

1 different luminous efficacy levels, and they get phased in
2 between 2011, 2012, and 2013, depending on the output bin.
3 There is not enough market data available to actually
4 simulate the year-to-year trends from those that phase-in
5 directly. So what is reflected in the forecast is really
6 just kind of a best guess of how those interim standards
7 produce cumulative savings, aggregate savings over time.
8 Relative to the Big Bold Initiatives, these year-to-year
9 trends that are reflected in the current set of results
10 literally reflect the penetration milestones in the PUC
11 Scoping Ruling from April '07 and nothing more. So that,
12 again, begs for the question of, you know, it is strictly a
13 market penetration assumption that is reflected in those
14 year-to-year savings.

15 The last two, the savings decay from IU programs,
16 I think we are going to talk about this a little bit more in
17 the next presentation, so I am going to skip that. And the
18 last one is uncertainty associated with the Big Bold
19 targets, so I started to talk about this, but the Big Bold
20 -- the zero net energy initiatives for Big Bold, as Chris
21 showed earlier, account for roughly 40 percent in peak
22 demand terms of our total estimate of incremental
23 uncommitted savings. Now, to take you back to the way these
24 things are defined, these are literally market penetration
25 milestones, they are targets, and they are very aggressive,

1 100 percent Tier 2 homes by 2020, 100 percent Tier 2
2 buildings by 2030, I mean, these are very aggressive
3 targets. And the numbers just reflect the savings
4 associated with hitting those penetration milestones does
5 not reflect any assessment of probability or likelihood to
6 occur, or, for that matter, any specific delivery mechanisms
7 associated with hitting those milestones. And obviously the
8 total peak demand inputs are highly sensitive to that
9 particular outcome.

10 Now, I think this is my last slide. Through the
11 course of the working group and the technical workshop that
12 was held a couple weeks ago, there were a lot of questions
13 about the peaked energy ratios that were used in the
14 analysis. There are additional uncertainties specific now
15 -- these five areas of uncertainty affect both the energy
16 and the peak demand side; obviously, the Big Bold is most
17 important on the peak side because it is a significant, but
18 not a huge contributor to the energy side. But,
19 nonetheless, these five areas of uncertainties also reflect
20 the energy side. Now, the peaked energy ratios only affect
21 the peak demand results and probably should be considered in
22 specifically in that context. The current set of peak
23 savings results reflects the use of [quote unquote] "normal
24 weather year", peaked energy relationships at the end-use
25 level. There is obviously uncertainty in those peaked

1 energy ratios themselves, but there is also the reality that
2 year-to-year weather conditions can vary quite dramatically
3 over time, so we also have provided some high level -- this
4 is just for PG&E residential as a whole, it is not the end-
5 use -- but even there, you can see how much they vary. '04
6 was a historically mild year, you have an overall peaked
7 energy ratio of .228; '06, two years later, was a
8 historically hot year, that value jumps all the way up to
9 .312, that is about a 30 percent increase right off the bat,
10 just in the peaked energy relationship from increased AC
11 demand during system peak. '09, which is the first year of
12 the IEPR forecast and is based on normal weather year
13 conditions, that value is .275, so mild to hot varies plus
14 or minus 15 percent just in terms of the actual peaked
15 energy relationship for the residential sector as a whole,
16 that plus or minus 15 percent is actually -- that band -- is
17 actually wider when we consider the impacts from, for
18 example, the Big Bold Initiatives because they are almost
19 entirely concentrated in HVAC. So, again, this is just
20 perspective on this particular source of uncertainty and the
21 dynamics around it. So that is specific to weather
22 sensitive end-uses and savings, but it should also be
23 recognized that, you know, as we go forward with a very
24 aggressive portfolio of policy initiatives for efficiency,
25 there is also the potential impact of shifting the system

1 peak hour and the time of year, which then filters back into
2 the peak demand, the coincident peak demand savings from all
3 end uses, not just weather sensitive end uses. And the
4 perfect example is residential lighting, which is where most
5 of the RU portfolios are now, it is a shoulder load and its
6 end-use profile is very steep now at the system peak hour,
7 roughly 4:00 in the afternoonish, something. Right, a shift
8 in the system peak from 4:00 to 5:00, or from 4:00 to 3:00
9 can have a pretty significant impact on the peak to energy
10 relationship on the peak savings impacts from residential
11 lighting, which is not weather sensitive, but because it is
12 a shoulder load, its contributions to peak savings,
13 coincident peak savings, can vary depending on when the
14 coincident peak occurs. So I just wanted to offer that up
15 because there are the obvious sensitivities for weather
16 sensitive end uses and savings, notably the Big Bold, zero
17 net energy new construction savings, but it also applies to
18 non-weather sensitive end uses in a future where the system
19 peak hour is actually going to shift because of the result
20 of some of these policy initiatives. So I will leave it
21 there and answer any questions.

22 COMMISSIONER WEISENMILLER: Yeah, hi. Could you
23 describe what you have done so far in terms of model
24 validation for your model?

25 MR. TING: For the IOU programs?

1 COMMISSIONER WEISENMILLER: Yes.

2 MR. TING: Because those, we are basically
3 replicating the results of the potential study that was
4 conducted for the utilities in 2008, based on the asset
5 modeling framework, that model calibrates its forecast
6 values to actual accomplishments and, so, for that study
7 they were calibrated to actual accomplishments in the '04-
8 '05 program cycle. So, in that respect, they -- I would not
9 call them as much validated, but they are calibrated to
10 actual accomplishments, actual historical accomplishments.
11 And then that calibration factor is carried forward in the
12 forecast years.

13 COMMISSIONER WEISENMILLER: Okay.

14 MR. TING: For the kind of non-IOU programs, they
15 reflect the assumptions that we showed earlier in terms of
16 -- it is difficult to validate future policy initiatives in
17 terms of Title 24. I mean, there is a historical record for
18 Title 24, for example. But that is why we constructed high,
19 mid, and low cases, to try to bound them to the future.

20 COMMISSIONER WEISENMILLER: Yeah, just the follow-
21 up is, to the extent now you have done some degree of
22 verification for your model, we have done some sort of
23 cross-comparison between the two models, so obviously part
24 of the issue is, by implication, what does that say back
25 about the Energy Commission model?

1 MR. TING: Uh --

2 COMMISSIONER WEISENMILLER: Or you can leave that
3 for Mike.

4 MR. TING: Honestly, I am not sure if I could pass
5 judgment on the end-use forecasting model in a very robust
6 way.

7 COMMISSIONER BYRON: That is hedging it, isn't it?

8 MR. TING: Yeah.

9 COMMISSIONER BYRON: Okay, Mr. Ting, two takeaways
10 for me, one is this is really complicated, and the second
11 is, with only four pages or four slides around uncertainties
12 and key caveats, obviously there is a lot of uncertainty
13 associated with this. I would like to assure you that, if
14 you had any concern about sufficient detail in your
15 presentation, you have surpassed my level of detail and
16 understanding in all of this. It is very complicated.
17 Unless Commissioner Weisenmiller wants to dive down deeper,
18 we are going to forego your Appendix slides because we are
19 behind schedule.

20 MR. TING: Those are just in case you wanted to go
21 there, but if you do not, we do not have to.

22 COMMISSIONER BYRON: But I would like to thank you
23 very much, it really does highlight how complicated this is
24 and the uncertainty associated with it. But let's press on.
25 Dr. Jaske, you did not put Mr. Ting up to this presentation

1 to befuddle and confuse this Commissioner, did you?

2 DR. JASKE: No, sir. I would never do that.

3 Okay, there is a section of the staff's report talking about
4 caveats and recommendations. Caveats have a lot to do with
5 uncertainty and that -- a piece of that uncertainty was
6 recognized from the beginning of this project, that is, that
7 there will be multiple scenarios, those scenarios are
8 intrinsically assumptions about the level of effort that
9 various agencies put into developing and periodically
10 updating energy efficiency programs with all of the host of
11 pressures that come to bear in deciding to adopt a
12 particular level of Title 24 standard and, just as an
13 example here at the Energy Commission or the PUC deciding
14 what level of incentives to offer for IOU programs and
15 ratepayer groups, on the one hand, you know, saying those
16 programs are not really cost-effective, and advocates of
17 higher levels of efficiency wanting, you know, yet more
18 expansive programs, etc. So, all of those dynamics are at
19 play not only for a particular cycle, but for, as Mr. Ting's
20 presentation showed, a whole series of updates of these
21 things going out through time. So that dimension of policy
22 uncertainty was always understood and the design of the
23 project was to construct the different scenarios and to lay
24 the consequences of those different scenarios out there.
25 And, of course, we were largely building off of the

1 scenarios defined in the 2008 Goals Study conducted by Itron
2 and for which the PUC reviewed the results of all three
3 scenarios and chose the mid case. Whether the PUC chooses
4 to do the mid case, you know, in the LTP proceeding is, of
5 course, the basic question that we always understood going
6 into this project.

7 COMMISSIONER BYRON: Dr. Jaske, let me interrupt
8 for a moment. Do we need to say anything for the folks on
9 WebEx about going on mute?

10 MS. KOROSK: We are completely muted, so it is
11 just that we are having a feedback issue here. Thanks.

12 COMMISSIONER BYRON: All right, thank you. We
13 will hold off on those for now. Dr. Jaske, please go ahead.

14 DR. JASKE: So as I have been saying, we always
15 had this policy question, policy uncertainty question, and
16 what I think is not perhaps as well highlighted in the staff
17 report as it could be, and therefore this is an area where
18 it should probably be strengthened in the final version, is
19 that by holding true to these scenarios defined now back in
20 probably the spring or summer of 2007, when Mr. Ting's firm
21 got launched in their effort, there have of course been
22 other policy initiatives brought forth as ideas and, in some
23 cases, even carried all the way through to a regulatory
24 decision. A good example of those is the TV standards. You
25 know, the Energy Commission adopted late in 2009. We do not

1 address the TV standards in this analysis, so it is neither
2 in the adopted demand forecast, nor in this incremental
3 uncertainty analysis. And so, when the PUC has to grapple
4 with which one of these particular scenarios, or picking
5 pieces from more than one of them, and mixing and matching,
6 it needs to be taking into account that there are things
7 going on that, in the real world, which will induce long-run
8 savings for which these are not being accounted for here,
9 you know, so that adds a little bit of weight toward, yes, a
10 lot of these savings will actually happen, they may not
11 actually happen exactly because of the policy initiatives
12 that have been modeled here.

13 Now, what has emerged over the course of the last
14 several months is the second question on this page, and that
15 is the whole issue of savings decay, replacement of savings
16 decay, and how to address the manner in which that is
17 represented in the staff's forecast, and how the PUC should
18 consider an adjustment related to the difference between how
19 it is addressed in the staff forecast vis a vis the policy
20 direction that the PUC has issued heretofore. And several
21 of my slides will get into that in more detail. So, I do
22 not think I will run through these technical uncertainties
23 because this is essentially the same list of things as Mr.
24 Ting identified before.

25 And I will go through this slide quickly because

1 Carmen Best went through this in more detail in her
2 presentation, but there is a particular aspect of it that I
3 am going to highlight. So a number of things happened in
4 really the most recent of the PUC decisions dealing with
5 establishing goals. They adjusted them downward a little
6 bit, as she indicated; they decided to clarify which of the
7 two sources of the 2012 goal ought to be actually applicable
8 in 2012, and they went with the narrower IOU only goal, as
9 opposed to the total market gross goal for year 2012. They
10 deemed, which is an interested word that comes out of
11 Regulatory Land, that 50 percent of savings decay should be
12 considered replaced and until further study can establish a
13 different value. So the PUC is in this circumstance where
14 savings decay has got several critical near term dimensions
15 that, in the continuing cascade of decisions that the PUC
16 has to make in the short run, I think, lead to this solution
17 to the issue. It has created an incentive mechanism and
18 there has to be a determination of how many savings are
19 decided to exist, or be identified such that they lead to
20 financial incentives for the utilities. Further, are the
21 utilities dealing with decay in a manner that does or does
22 not match up to their cumulative savings goals; if not, then
23 they should be proposing mitigation measures, different
24 program designs, or higher levels of activity so as to make
25 up for that. What they have not had to deal with is the

1 dimension of the projection of savings decay through time,
2 particularly out in the time horizons that we are talking
3 about. So the issue of deeming 50 percent, you know, as
4 replacement is just that, it is a decision that we are going
5 to pick that number and I think it is clear that the words
6 in the PUC decision recognize that that is not a
7 satisfactory solution, so the Energy Division staff has been
8 directed to go off and do more work. And that introduces,
9 in effect, an uncertainty that the PUC's LTTP side of the
10 world is going to have to deal with when it gets to the
11 point where it is going to decide how much adjustment to the
12 adopted demand forecast they are going to make. So the
13 original issue of which one or some parsing of the three
14 scenarios, and now this issue of savings decay.

15 Now, at the time the staff report was written, we
16 understood that this was an issue, it has been written up, I
17 think, from the sort of policy perspective not quite right
18 because there were editorial clarifications that the PUC
19 suggested to us that fell through the cracks, and that we
20 will include in the final version. But more importantly,
21 the relative size of this decay shown in this figure, Figure
22 5 of the Staff Report, is a little misleading. So this
23 figure was intended to give sort of an idea as to the
24 relative proportion of the committed savings decay issue vs.
25 the original topic of incremental uncommitted savings. And

1 we decided not to contaminate the analysis of incremental
2 uncommitted savings by including this as an element of that,
3 but rather to call it out as a separate issue, as I am
4 trying to do here. But the problem is we did not fully
5 understand the regulatory decisions that the PUC has made
6 about savings decay replacement. And so this sort of
7 reddish or rust-colored segment of the chart is probably
8 about four times too large relative to what we now
9 understand, and so there is going to be -- this is another
10 area where we need to update the staff report and it is
11 crucial for you to understand that, while this is an
12 important dimension of our analysis that we have uncovered,
13 it is not as big a deal as this figure would lead you to
14 believe. And so here is the reason why that is the case.
15 The PUC has decided that it is only going to require savings
16 decay replacement from 2006 going forward. I believe when
17 we tabulated that chart, or the numbers that went into the
18 previous chart, we were thinking that it applied to savings
19 decay for IOU programs all the way back to, you know, as
20 much activity as has been undertaken, over decades. That is
21 clearly our inability to fully absorb all of what the PUC
22 has said and done about this issue.

23 COMMISSIONER BYRON: And Mr. Baker is going to
24 speak to this or verify that we have got it right now, or
25 that we will get it right?

1 DR. JASKE: Hmm, get it right, someone from the
2 PUC will, I am sure, be willing to jump up and say something
3 if I do not get this quite right, because we do want you to
4 get the right information, even if I do not have it.

5 COMMISSIONER BYRON: Ms. ten Hope, did you have a
6 question?

7 MS. ten HOPE: No. I was going to ask exactly
8 what you put up here was the reason for the decay.

9 COMMISSIONER BYRON: Okay.

10 DR. JASKE: So middle bullet showing the three
11 figures will give you a sense of the real proportion of
12 this. So in the staff report, we had identified, you know,
13 for 2020 something over 7,000 Gigawatt hours as the amount
14 that the PUC would need to take into account for this issue
15 of savings decay replacement. Simply understanding that it
16 is only decay associated with program activities that start
17 in 2006 brings that down to 3,700 and change Gigawatt hours,
18 so that is about half right there. And then, if it is only
19 that 50 percent of that needs to be replaced, we divide that
20 in half, so now we are down to a little over 1,800 Gigawatt
21 hours. So instead of 7,000 Gigawatt hours compared to the
22 range of 10,000 to 14,000, which is a very big component,
23 now we are down to around 1,900 compared to 10,000, to
24 14,000, and it is an issue, but it is not an overwhelming
25 issue, and it is one in which I think we can pull together

1 in the revised staff report enough explanation that the PUC
2 has a decent record upon which to make a decision.

3 So let me now turn to recommendations and next
4 steps. So a clearer recommendation stated quite directly in
5 the staff report is that we are very uncomfortable with
6 stating goals in absolute value terms, "Go achieve 10,000
7 Gigawatt hours." It is essentially impossible to understand
8 how such a goal relates to our forecast or any other
9 credible sort of process. So, 1) goals should be stated in
10 terms that are relative to something so they can be judged
11 as this project has attempted to do, as to being incremental
12 in whole, or in part, compared to all the other things that
13 are typically used with or in conjunction with these kinds
14 of goals, namely a base forecast. We think that what has
15 been developed by the Itron staff team is a credible savings
16 analysis for the three scenarios. We have made the
17 adjustments that we think are appropriate to them. We have
18 quantified them in a manner that we believe has reduced the
19 issue of overlap and duplication and, particularly,
20 systematic bias that Mr. Ting identified, to a level that
21 the PUC can make use of this analysis in its LTTP
22 Proceeding, just as had been the original plan. And as I
23 perhaps labored on in these earlier slides, the PUC should
24 make this further adjustment around 1,900 Gigawatt hours so
25 as to reflect the current understanding of savings decay

1 replacement the PUC has already adopted in its policy
2 decisions.

3 So what remains before us? So as I indicated this
4 morning, or the first thing this afternoon, we clearly have
5 to update our technical documentation in certain areas. The
6 staff report needs to also be worked on, particularly in
7 this last area of savings decay replacement, and then we
8 need to take that whole package and transmit it to the PUC
9 as input into the LTPP Proceeding. Over the next time
10 horizon, there are probably other forums in which these same
11 results can be used. There are a number of energy agency
12 activities that are being done jointly, such as OTC
13 analysis, or the joint study on air quality limitations in
14 the South Coast, AB 1318, led by ARB, that could make use of
15 these analyses in a very similar way as they would in OTC.
16 So these should probably be used in a variety of forums, not
17 just the LTPP proceeding.

18 Staff needs to complete its current contract with
19 Itron, which focuses on training of the existing SESAT
20 model, and we are thinking that a good exercise as part of
21 that is to actually try to take the SESAT tool and develop
22 POU estimate, with as little hand-holding from Itron as
23 possible. We are going to -- and there is already a meeting
24 scheduled for, I believe, March 2nd -- talk with the working
25 group to see if we can, now that we have completed this

1 effort, identify a mutually satisfactory course of action,
2 targeting the 2011 IEPR cycle. There is a whole host of
3 things that were talked about during the course of our
4 working group meetings, a number of them sort of that could
5 not be pursued directly at the time they were identified or
6 they were pursued to a certain point and then had to be
7 stopped. We are resurrecting all of that and finding a
8 mutually agreeable course of action is high on our next step
9 list. And similar things exist in terms of talking with PUC
10 staff about what we have learned from this effort.

11 Over the longer term, of course, we have this
12 whole issue of the staff's ongoing forecasting model review
13 project. There are things that came out of the earlier
14 phases of Itron's support to us that ended up focusing on
15 our improvement of IOU program savings that we can try to
16 fold into our effort, and we clearly have some much improved
17 understandings of the differences between the asset platform
18 and its way of handling measure adoption, naturally
19 occurring savings, than what is included in our staff models
20 and trying to think through how to find the best features of
21 both would be a very useful exercise. And to the extent we
22 end up in this same marriage of models in the next cycle,
23 you know, trying to make progress on reducing those
24 inconsistencies would be desirable.

25 There are, of course, a number of other demand

1 side measures that lead to a managed forecast. Chris
2 mentioned that -- I hope that Simon Baker, when he makes his
3 presentation, will augment what we have said -- managed
4 forecast is a concept that is broader than just incremental
5 energy efficiency and should not be thought of just as being
6 associated with incremental energy efficiency. And then, of
7 course, we need to both target what we can accomplish for
8 the 2011 IEPR cycle and make some more general plans for
9 where we are going with this whole effort over the longer
10 run. So I believe I am finished. Are there questions?

11 COMMISSIONER BYRON: I think I am going to forego
12 questions at this time just because we are so far behind
13 schedule, Dr. Jaske. But I think -- do we want to do WebEx
14 questions now, Ms. Korosec? Or shall we press on? Can we
15 reserve them for public comment? Let's do that because that
16 would be fair to everyone else. Dr. Jaske, thank you. Mr.
17 Baker, you have been very patient. Thank you for being
18 here.

19 MR. BAKER: Good afternoon. I am Simon Baker with
20 the PUC's Energy Division. I work in our Procurement and
21 Resource Adequacy Section and I work on long term
22 procurement. I have been accompanying this process since
23 its outset, most recently when these issues first arise in
24 the 2006 LTP Decision, and then the Energy Commission took
25 these issues up actively in the 2008 IEPR Update. And I

1 just have to say at the outset that I am very pleased with
2 where we are now in terms of what we have produced and the
3 demonstrated benefits of close collaboration amongst our two
4 agencies. The devotion of staff that have worked on this,
5 and really put their best efforts forward, I think we have
6 really produced a good work product here. I think we have
7 gone a long ways towards making the underlying assumptions
8 in the various models much more transparent and given
9 stakeholders an opportunity to really see what the
10 implications are of making certain assumptions about a
11 policy future, and how that impacts various activities,
12 including procurement.

13 So as you can tell from today's presentations, all
14 eyes are on the PUC's process at this point, and so what I
15 will offer today is what the PUC has said so far about these
16 issues and how this information would be used in a
17 procurement process, and then also I will be sharing some of
18 our staff recommendations because the Commission itself has
19 not yet acted in terms of speaking to these issues.

20 COMMISSIONER BYRON: And thank you for those
21 comments. Of course, I am glad to hear you say you have
22 been as involved in this process as you have, that is
23 extremely important as you can tell, at least as I can tell,
24 the complexity of this, and I do not think the original
25 demand forecast of this Commission was intended to be the

1 basis for how, going back years or decades, Commissioner
2 Weisenmiller would probably know better than I, that it was
3 not intended as the basis for your Long Term Procurement
4 Plan, but we certainly directed the staff, and I agree with
5 you, I think they have done a really good job of trying to
6 adjust to the needs of the PUC in meeting what you require
7 to set policy and to set that bogey, if you will, for the
8 target for the utilities. I look forward to your comments.
9 We are not done. We will continue this process and perfect
10 it as time goes on. But please continue.

11 MR. BAKER: I will just make one other
12 acknowledgement here. I want to acknowledge the work of
13 Itron, as well. I think it has been very good to have
14 continuity in terms of the consulting assistance on this
15 project, having them work on this project of quantifying the
16 incremental impacts of an original scenario that they worked
17 on has been very helpful. And the participation of the
18 DFEEQP Working Group members has also been very helpful, and
19 many have been actively engaged.

20 So with that, the PUC's Long Term Procurement Plan
21 Proceeding occurs biannually pursuant to Public Utility Code
22 454.5, which was established pursuant to AB 57. This is
23 where the Commission reviews the Utilities' 10-year plans
24 for procurement and, in addition to reviewing their plans
25 for procurement, the PUC also reviews whether there is any

1 need for new resources to meet system reliability needs in
2 the long term, whether we have sufficient resources to meet
3 long term resource adequacy requirements. Pursuant to the
4 Code, the utilities' plans have to first meet any unmet
5 resource needs through all energy efficiency that is cost-
6 effective and reliable, and I have underlined cost-effective
7 and reliable because that is really the rub when you look at
8 how the PUC will be considering these numbers in its
9 procurement process. Although it preceded the EAP Loading
10 Order of 2003, this is consistent with the EAP's Loading
11 Order of putting energy efficiency first.

12 The PUC has deferred to the CEC's IEPR process to
13 produce the Base Case Demand Forecast and the energy
14 efficiency goals that the Commission has set appear in one
15 of two places, as has been discussed earlier, either as
16 committed effects embedded in the load forecast, or as these
17 uncommitted effects which this report has attempted to
18 quantify. We authorize procurement based on what is called
19 the Managed Demand Forecast, including any reasonably
20 expected to occur savings from uncommitted energy efficiency
21 and other demand side measures such as demand response,
22 combined heat and power, and renewable distributed
23 generation, as examples. And I use the term here
24 "reasonably expected to occur," which is a term that we, as
25 PUC staff find to be a useful term when looking at what

1 assumptions are reasonable to make about forecasted impacts
2 of energy efficiency when considering those assumptions in
3 the context of a system reliability decision. The LTTP
4 Proceeding, as I said, it is a 10-year look, but really the
5 decisions about whether or not to build new resources are
6 being made in about that five to seven year time frame, that
7 is the time that you need to authorize procurement and have
8 new infrastructure be built. If you start crunching that
9 time frame towards more of a, you know, two to three year
10 time frame, you may not get cost-effective choices when you
11 go out to procure. Indeed, in the 2006 heat storm, we did
12 face a situation like that and, so, what we face at the PUC,
13 and what the Commission has to evaluate in these sorts of
14 decisions, is a tension that exists between potentially
15 over-procuring, and buying more resources than may be needed
16 if energy efficiency, for example, comes online and has
17 higher impacts than expected. And there is a cost
18 associated with over-procurement. And the opposite of that
19 is this under-procurement situation where you may be making
20 just in time procurement decisions to meet reliability
21 needs. And so I think it is important for us to keep this
22 in mind, that the LTTP proceeding is somewhat unique in
23 terms of how it evaluates the forecasted impacts of energy
24 efficiency in the context of system reliability.

25 So in the most recent LTTP decision, the

1 Commission acknowledged that there was uncertainty about the
2 quantitative incremental impacts of the Commission's energy
3 efficiency goals relative to the Demand Forecast. At that
4 time, the Commission assumed that 20 percent of our goals
5 was incremental to what was in the 2007 IEPR, and one
6 exception was San Diego, where for various reasons the
7 Commission assumed that 100 percent of San Diego's goals
8 were embedded in the forecast. But the Commission
9 acknowledged that we need to do a better job of quantifying
10 these savings, of our goals relative to the Demand Forecast.
11 And this is really the seed that was planted two years ago
12 to really get a better number of what is the incremental
13 impact. And so, when you look at how energy efficiency
14 goals have been set, for example, in the PUC's process, we
15 have not had this type of information yet in the past when
16 we have looked at energy efficiency goals, the most recent
17 energy efficiency goals were set in 2008, and then most
18 recently adjusted in 2009 prior to having any of these
19 quantitative -- these assessments of the quantitative impact
20 of energy efficiency relative to the Demand Forecast. So I
21 think it is important to put that in context, as well.

22 So as I mentioned, we have been actively
23 participating in the Demand Forecasting and Energy
24 Efficiency Quantification Project, and I use this term
25 throughout the rest of my presentation to mean the combined

1 analysis of two things: one is how much committed energy
2 efficiency is embedded in the forecast, the 2009 IEPR
3 Forecast, plus how much incremental have we evaluated, as
4 well? So the Commission authorized procurement in late
5 2007, and then, in mid-2008, the energy efficiency goals
6 were further updated, looking at various goals scenarios
7 which have been propagated through this analysis, and
8 ultimately the mid-range goals level was adopted for 2012 to
9 2020. And notably, that decision ordered the utilities to
10 use 100 percent of the numerical total market gross goals in
11 the procurement proceeding. And as Dr. Jaske already
12 mentioned earlier, this presents some potential challenges
13 when looking at how underlying data used to generate these
14 scenarios change over time. Consistent with previous energy
15 efficiency goals decisions, the numerical values were
16 ordered to be used in the procurement process.

17 So in the 2008 Long Term Procurement Plan
18 Proceeding, rather than reviewing new plans from the
19 Utilities, the Commission decided to take a pause and look
20 at various proposals to standardize the resource planning
21 process in the Procurement Proceeding, and that led to a
22 staff proposal in the 2008 Long Term Procurement Proceeding,
23 which had the benefit of accompanying this project up until
24 the point the staff proposal was released in July of 2009.
25 And at that time, the staff proposal anticipated that this

1 project, the DFEEQP project, may produce results which are
2 numerically different from the original goals decision,
3 which were ordered to be used at 100 percent of their
4 numerical value in the Procurement Proceeding. As has been
5 described before, the underlying economic and demographic
6 data are one of the reasons why there may be changes in the
7 forecasted effective goals over time. How the staff
8 proposal dealt with this was to essentially recommend, if
9 there is a discrepancy between the original goals decision
10 on a numerical basis, and this analysis of the total energy
11 efficiency savings embedded plus uncommitted, that the
12 Commission should use the lower of the two estimates as its
13 base case estimate for a managed demand forecast of energy
14 efficiency. And it did so based on the reliability
15 criterion that I spoke to earlier.

16 So this graphic attempts to show what staff
17 proposal means, essentially what you have is the final 2009
18 IEPR forecast, which is the red bar having some amount of
19 committed energy efficiency embedded within it, and then
20 some amount of uncommitted. The dash lines represent
21 hypothetical values of what the PUC's mid-range energy
22 efficiency goals would be when reassessed in terms of their
23 incremental impacts out of this project. And essentially
24 what it shows is that the lower of the two values should be
25 used in the LTPP process according to the staff proposal.

1 So when you track the original goals decision to
2 what this analysis has produced, you get this chart, which I
3 will take some time to walk through. What I have done here
4 is I have only taken the peak megawatt savings estimates
5 because, in the LTPP Proceeding, we are focused on the peak,
6 not energy. So for peak, the original goals decision, the
7 '08 goals decision is shown in the light purple with
8 subsequent adjustments shown in the dark purple or maroon.
9 This project has produced results which are shown in the
10 dark blue and, as you can see, the combined committed plus
11 uncommitted energy efficiency is less under current
12 estimates than it was originally forecasted to be in the
13 goals decision. So the Commission has a situation where the
14 original goals decision required the utilities to use
15 essentially this light purple value for the procurement
16 process, when new information is showing that the forecasted
17 impact of that same set of energy efficiency policy
18 initiatives is forecasted to be lower than analyzed at the
19 time the goals were adopted. The gold bar shows what the
20 forecasted impacts of energy efficiency were in the 2006
21 Long Term Procurement Plan Proceeding.

22 COMMISSIONER BYRON: And the light blue, the D08-
23 07-047, that is the goals of --

24 MR. BAKER: That is the 2008 Goals Decision which
25 was subsequently adjusted in the 09-047, the maroon bar. So

1 the effective goals right now are the maroon bar.

2 COMMISSIONER BYRON: Okay.

3 MR. BAKER: And I will make one other note, which
4 is that this issue of decay and replacement of 50 percent of
5 the savings decay, if you were to include that 50 percent
6 decay replacement, that would be an increment to this dark
7 blue bar.

8 COMMISSIONER BYRON: So that would be assuming a
9 zero decay?

10 MR. BAKER: No, that would be assuming 50 percent
11 decay replacement. So that is saying that, of the
12 forecasted decay in energy savings, the PUC's energy
13 efficiency policy has required the utilities to make up 50
14 percent of that savings decay.

15 COMMISSIONER BYRON: Okay, thank you.

16 COMMISSIONER WEISENMILLER: And I assume, if you
17 looked at the energy numbers and made a similar correction
18 that it might have an impact on the renewable procurement?

19 MR. BAKER: That is right. So I kind of glossed
20 over that, but it is a very important issue and it is one
21 that is coming up, particularly, in the transmission
22 planning context for 32 percent, and in RETI, that the
23 impact of the energy numbers is germane in terms of
24 renewables planning.

25 Again, the staff proposal in the current LTTP

1 Proceeding acknowledged that the Commission may wish to
2 consider the impacts of uncertainty related to forecasts of
3 energy efficiency in the context of these system reliability
4 decisions that are being made and the adoption of need for
5 new resources in the LTP. And so, therefore, the
6 recommendation of staff was to, in addition to having a base
7 case assumption, to also show high and low bounds on the
8 need for new resources that would be informed by, perhaps,
9 these high and low scenarios which have also been developed
10 in this process. In addition, we ask the utilities to
11 provide some estimates of the likelihood of occurrence for
12 each of the uncommitted energy efficiency scenarios with the
13 expectation that parties would all comment on that issue, as
14 well, and the Commission would have a record on which to
15 base a decision about what number to pick for reliability
16 purposes.

17 So, in summary, I would say that this project, as
18 I mentioned at the outset, has actually clarified a lot of
19 uncertainties. We went into this project, remember, not
20 really knowing -- not having a very fundamental
21 understanding of what was in the forecast relative to what
22 was in our energy efficiency goals. And staff of the two
23 Commissions, and Itron, and parties, have worked very hard
24 in the past two years to answer some of those fundamental
25 modeling questions. And I think we have gone a very long

1 way to addressing many of the uncertainties. We have done a
2 better job of identifying savings of utility programs in the
3 2009 IEPR Forecast, and in particular we acknowledge and
4 appreciate the Energy Commission's accommodation of last
5 minute changes to the adopted 2009 IEPR forecast to shift
6 the energy efficiency program cycle from the originally
7 forecasted '09 to 2011 period, to then a 2010 to 2012
8 period. We recognize that that was a last-minute adjustment
9 and we appreciate your flexibility in doing so. Better
10 calibration of the models has also been a central theme of
11 this project, and we think we have done a good job there.
12 That said, Itron's presentation clearly indicates that there
13 remains many uncertainties and most, if not all those
14 uncertainties, have yet to be quantified. The only
15 uncertainty that you could really do a back of the envelope
16 calculation on today is this peak to energy ratio issue,
17 where essentially the original goals decision adopted goals
18 based on one set of peaked energy ratios, which is different
19 from the peaked energy ratios that were used in this
20 analysis consistent with the 2009 IEPR Forecast.

21 So the central questions for the PUC right now
22 are, you know, should the Long Term Procurement Plan
23 Proceeding use more updated savings estimates,
24 notwithstanding these adopted numeric energy efficiency
25 goals and the requirements in previous decisions to use 100

1 percent of those numeric goals? Certainly, the Commission
2 has the authority to change its previous decision in the
3 LTTP context, but whether it chooses to take that question
4 up in the LTTP Proceeding and scope that into the LTTP
5 Proceeding, as opposed to some other proceeding such as the
6 Energy Efficiency Proceeding, which is the original place in
7 which that decision was made, that is up to the Commission
8 to decide in the scoping of the pending LTTP OIR. And then,
9 this issue of uncertainty is not going to go away in the
10 LTTP context, so it is going to have to be dealt with there,
11 as well.

12 So what we are recommending at this point, as
13 staff advising the Commission, is that, for the forthcoming
14 2010 Long Term Procurement Plan Proceedings, that the OAR
15 essentially scope in a potential reevaluation of the 100
16 percent of TMG Goals requirement and that that potential
17 reevaluation be coordinated with the Energy Efficiency
18 Proceeding, essentially noticing all parties to both
19 proceedings. And there is going to have to be some thinking
20 about, you know, which of these uncertainties is best to
21 resolve in the LTTP Proceeding vs. the Energy Efficiency
22 Proceeding, and it goes without saying that we are
23 recommending that this analysis that is being discussed here
24 today be the foundation from which any further discussions
25 at the PUC build from. So those are our recommendations at

1 a staff level. Again, these recommendations have yet to be
2 adopted by the full Commission. We expect that the OIRs for
3 the LTPP Proceeding to be issued in the March time frame and
4 so we will have more answers at that time. And with that, I
5 would be happy to take questions.

6 COMMISSIONER BYRON: Commissioner?

7 COMMISSIONER WEISENMILLER: Thank you.

8 COMMISSIONER BYRON: Mr. Baker, the staff has
9 listed a bunch of questions and I see that the one that
10 comes to mind for me is their number two question, are the
11 three scenario analyses undertaken sufficiently consistent
12 to provide you with that you need, or what the PUC needs,
13 going forward?

14 MR. BAKER: I think the answer to that is yes.

15 COMMISSIONER BYRON: Good, I was hoping -- I drew
16 the same conclusion from your presentation, but I wanted to
17 ask that. I have a feeling there may be a few more other
18 questions to come up, but in all fairness, let's go ahead
19 and -- well, let me thank you very much for being here. You
20 were most patient to sit through everything. Thank you for
21 your analysis. We look forward to seeing what the PUC comes
22 out with in their LTPP. I am glad to hear we are providing
23 you the tools you need. But let's go ahead and open it up
24 to public comment and other questions. Isn't that the way
25 we want to proceed at this point, according to the agenda it

1 says "Questions for stakeholders" and we actually have an
2 hour allocated for this, but I am hopeful that we will be
3 able to finish this up in the 4:30 to 4:45 time frame. So,
4 how should we proceed? Ms. Korosec, do you want to take
5 this?

6 MS. KOROSEC: Actually, I was hoping Dr. Jaske
7 would give me a sense of how he would like to do this.
8 Should we just open it up to people to comment on the
9 questions? All right, let's go ahead and do that.

10 COMMISSIONER BYRON: If you will come forward to
11 the podium?

12 MS. KOROSEC: Come forward to the podium and we
13 will do those in the room first and those on WebEx
14 afterwards.

15 COMMISSIONER BYRON: Very good, I agree.

16 MR. ALVAREZ: Good afternoon, Manuel Alvarez,
17 California Edison. I guess I was asked to go first.
18 Actually, I would like to start kind of where Mr. Baker left
19 off in his answer to your question number 2, Commissioner.
20 I guess I answer that question in the negative. I am not
21 clear that we actually have enough scenarios to move
22 forward. And I guess what I would ask you to consider when
23 you do the analysis is to go back to the peak energy ratios
24 and go back to the original ones and generate those
25 scenarios so that you have that comparison when you are

1 evaluating the implications of the forecast. I think that
2 is a bit of an exercise that you could do. I am not sure
3 how much of an effort it is, and that is something that the
4 staff would have to examine, and I am sure that will weigh
5 into your consideration. But I would ask you to consider
6 that for further analysis. So with that being said, I
7 definitely want to thank the Commission staff and the
8 working group, there is definitely a lot of reasonable
9 progress that is being made. This is the first time that I
10 can recall parties kind of digging into the implications of
11 a lot of this forecast with the time necessary that the
12 Commission sent us on, but I think you will understand that
13 there is definitely a lot more work to be done. This is
14 actually not the end, I consider this to be a beginning in
15 terms of how the forecasting is going to be done in the
16 future. There have been a number of evolutionary activities
17 that have taken place. The evolution of AB 57 that set up
18 the long term planning process is, in fact, the new paradigm
19 that was created as a result of the energy crisis in which
20 power plant decisions and acquisitions was reestablished for
21 the State of California to enter that. The historical note
22 that the Energy Commission's forecast was used to determine
23 the need for new facilities and the type of new facilities,
24 and so that was actually a resource planning function, we
25 are getting back into that world today, having the State of

1 California undertake those activities, albeit somewhat
2 different than it was in the '70s and '80s, but still an
3 active role for the State of California. We do not have
4 specific answers to your questions today, but we are working
5 on them. We thought we were not really clear on how we
6 would answer those questions. We will be filing those
7 comments for you to consider. But, clearly, one of the
8 implications of the work that we are seeing today is a
9 reduction in the amount of procurement that the utilities
10 would undertake. And I ask you to kind of consider the
11 implications of that, especially in the market environment
12 that we are in today; it is still an evolving market. This
13 Commission is going to be looking at evaluating what the
14 hybrid market as it is being characterized is today, and
15 that is something you are going to be undertaking in this
16 coming year, and as I understand it, in the IERP Update
17 Proceeding for 2010, and it will have implications for 2011.
18 With that, I will leave it at that and let you know that we,
19 in fact, will be filing comments for your consideration here
20 in the next week. Thank you.

21 COMMISSIONER BYRON: Well, thank you, Mr. Alvarez.
22 And, in fact, we do have your comments from the February --
23 we have Southern California Edison's comments from the
24 February 3 --

25 MR. ALVAREZ: Technical Workshop.

1 COMMISSIONER BYRON: -- Technical Workshop, right.
2 And from that, I derive the concern that you just expressed
3 about the scenarios. And I look forward to the full
4 comments, but I guess I would characterize it more that what
5 we are doing here, we are not at the beginning of this
6 process, this is like a freeway that we are modifying as we
7 go along here, and we are keeping the freeway open. I guess
8 I would like to turn to PUC and ask if they had any response
9 to the concerns that SCE has expressed, and I think we will
10 hear others along this line, too. Mr. Baker, would you care
11 to respond to whether or not that you think the PUC will be
12 able to use this analysis and these scenarios? Or do we
13 need to start over again?

14 MR. BAKER: Thank you. No, I mean, I would not
15 say that we need to start over and I stand by my original
16 comment that we have come a long way here and we have a lot
17 of very useful information to proceed. That said, I am not
18 precluding that additional analysis take place either at the
19 CEC or in the PUC's process in the LTTP if the Commission
20 decides to place this into the scope of the LTTP. It is
21 certainly conceivable that, in the LTTP Proceeding, if this
22 is placed into scope, that parties could call for additional
23 analysis to look at how the peak results would change under
24 different peak to energy ratios, the utilities could work
25 with Itron to have that type of analysis developed, or

1 potentially, you know, CEC staff may work with Itron if they
2 think that is a worthwhile endeavor. I am not saying that
3 would be a bad idea. I think that, when you look at -- I
4 mean, you are going to get two different numbers that the
5 Commission is going to want to consider, and one is going to
6 be using a peak to energy ratio that is for a mild year, and
7 one is going to be using a peak to energy ratio that is for
8 an average year. And so, the Commission would be able to
9 deliberate which of those two seem like a reasonably
10 expected to occur assumption.

11 COMMISSIONER BYRON: Thank you. And I am turning
12 to my staff now, I assume Southern California Edison has
13 been participating in the DFEE -- I cannot remember the name
14 of the working group -- I am seeing heads nod yes. Thank
15 you. Again, we look forward to the comments. Anyone else?
16 Please, you were first. We seem to give deference to the
17 investor-owned utilities because they seem to have so much
18 at stake in this process, but we welcome comments from
19 everyone.

20 MS. RIESENHUBER: Hi. Amber Riesenhuber with the
21 Independent Energy Producers Association. I appreciate the
22 work that you guys have done on this report, it is large
23 endeavor as we all see, and we understand the difficulty of
24 looking at something on such an extensive time horizon, and
25 so we appreciate the work that you guys have done there.

1 While IEP has been a long time supporter of energy
2 efficiency and demand side management goals, we are
3 concerned with what will happen if these uncommitted energy
4 efficiency and demand side goals are not met in the time
5 expectancies relayed here. Mainly, IEP is concerned and
6 suspicious of the uncommitted DSM and energy efficiency that
7 does not subsequently show up, and that that may be used to
8 manipulate the procurement of generation resources at the
9 PUC. We are also concerned that the generation resources
10 that are truly needed maybe foregone as a result of over-
11 estimating energy efficiency, or demand side resources, and
12 so those are some things that we would just urge you guys to
13 look at. Earlier in the presentations, questions were kind
14 of thrown out about looking at more conservative lower
15 cases, I know the CPUC has done a mid, upper, and low ranges
16 here, and also the idea of throwing out a contingency plan.
17 I think that is something that we would look to exploring
18 more with you guys, as a contingency plan, in the instance
19 that something does occur, that all these things -- the
20 uncommitted energy efficiency and DSM -- do not occur as
21 expected. So we are going to be filing more written
22 comments related to this issue, but I just wanted to bring
23 those to your attention for now.

24 COMMISSIONER BYRON: We share your concern and,
25 certainly, I have been on this Commission to experience the

1 short -- when we are short on capacity, and I have seen it
2 on the consumer side. And it does lead to, let's just say,
3 awkward and unfair procurement practices, so we share your
4 concern and the ultimate issue is the cost to consumers.

5 MS. RIESENHUBER: Exactly.

6 COMMISSIONER BYRON: So we are very aware of it.
7 We welcome your comments and the perspective of IEP is very
8 helpful.

9 MS. RIESENHUBER: All right, thank you very much.

10 COMMISSIONER BYRON: Please.

11 MR. VONDER: My name is Tim --

12 COMMISSIONER BYRON: Is your green light on, on
13 your microphone?

14 MR. VONDER: Now it is, okay.

15 COMMISSIONER BYRON: Please identify yourself
16 again.

17 MR. VONDER: Yeah, Tim Vonder with San Diego Gas
18 and Electric Company. San Diego Gas & Electric appreciates
19 the opportunity to comment and we also appreciate the work
20 that staff and Itron has done, and I personally applaud
21 their effort. I have worked with some of these individuals
22 for more than 25 years and I know that they are very
23 professional and they work very hard, and they try very hard
24 to do a really good analysis, so anyway. But that does not
25 mean that we do not have some constructive criticism to

1 offer, that is always the case. Mr. Baker's last
2 presentation, Simon's last presentation, was kind of a
3 surprise to us, or to me, anyway, when he compared the
4 incremental uncommitted savings that is in this analysis to
5 the goals of the PUC in their decisions because, when we
6 took a look at the incremental savings that are in this
7 analysis and compared them for years 2013 through 2020, not
8 the whole 2008 through 2020 time frame, but just that period
9 of time which is considered uncommitted for the purpose of
10 this forecast and analysis, we actually found the opposite.
11 We found that the incremental uncommitted that is in the
12 analysis is actually higher than what is in the Goals
13 Decision, or the instructions from the PUC that was given to
14 the Utilities to use. And, to us, that is a little
15 troubling and we actually would like to see an additional
16 scenario done on the analysis that would kind of bring that
17 back down to the goals that were in 08-07-047 for the time
18 period 2013 through 2020. Now, granted, I want to go back
19 and take a look at Mr. Baker's presentation here and try to
20 understand it, but as if today it was kind of a surprise to
21 me because we did not come up with that. Another comment
22 that I would like to make is in regard to overall
23 uncertainty associated with the analysis. It is a very
24 complicated analysis and it has been said, you know, time
25 and time and time again in our workshops prior to today's

1 meeting, and here at today's meeting, that there is an awful
2 lot of uncertainty associated with the analysis. For
3 example, when Chris said today that each of these three
4 scenarios, he could not make an assessment on which one was
5 most likely to occur, that we have three scenarios, a low,
6 medium, and a high, and there is some degree of uncertainty
7 embedded in each of those, but we do not know what it is.
8 And how, you know, which one, the low, the medium, or the
9 high, would be most reasonably expected to occur. So I
10 think that another thing that should be done is to extend
11 this analysis before the final report, some kind of
12 assessment of the elements that contribute to the
13 uncertainty in the analysis, and try to quantify those, so
14 either each of the scenarios could be looked at in terms of
15 which is least likely or most likely to occur, or maybe the
16 elements that are contained within each of the scenarios are
17 assessed with some kind of degree of uncertainty so that one
18 could pick and choose. So that was my second comment. And
19 my third comment and last comment really pertains to the
20 next time that we go through this effort. This time, the
21 Energy Commission staff prepared their forecast and, when
22 they prepared their forecast, they decided to include only
23 committed EE and not include uncommitted EE in their initial
24 effort to produce their forecast, and then the analysis,
25 which is just completed, was done subsequent to their

1 effort, well, it overlapped, but it was a separate effort,
2 and then some of the problems that were encountered in
3 trying to carry out the uncommitted program analysis apart
4 from the forecasting effort was that things had to be lined
5 up, they had to take the 2008 Goals Study and make some
6 different assumptions, and line it up with the forecasting
7 effort, and that caused a lot of problems. So I think in
8 the future, the next time around, that it would be best if
9 the Energy Commission staff, as part of their forecasting
10 effort, they also take into consideration the task of
11 incorporating uncommitted EE as part of their initial
12 forecasting efforts so that it is not done at a later point
13 in time and then bolted onto their forecast as a forecast
14 adjustment. I think it would be much smoother and it would
15 probably eliminate a lot of the problems of trying to line
16 up two separate analyses. So those are my verbal comments
17 and hopefully we will have time to respond in writing to
18 those questions.

19 COMMISSIONER BYRON: I hope you do and we welcome
20 your input. Mr. Vonder, you raise fundamental issues that
21 have obviously come up before, and I understand the
22 potential disagreement around this, and there is a lot of
23 uncertainty. Clearly, the presentations today indicate
24 there is uncertainty all over the place. One that I would
25 of course point back towards the investor-owned utilities is

1 that we really need timely and rigorous and consistent EM&V
2 data with regard to the penetration energy -- so much data
3 is missing, it would seem, that we are having to make so
4 many assumptions, but that is one that, let's say, I will
5 bounce back into your court that we need in order to do
6 better forecasting, as well. And I think that is the
7 primary reason why uncommitted is not going forward -- well,
8 I may be incorrect on that, but your last point about
9 needing to incorporate uncommitted energy efficiency in the
10 forecast is a fundamental problem that we cannot -- I do not
11 think we are going to agree upon. But we will let the
12 Public Utilities Commission bolt on those uncommitted
13 programs as they commit the investor-owned utilities to
14 them.

15 MR. VONDER: Okay.

16 COMMISSIONER BYRON: Did I -- would my staff care
17 to correct my statements or add anything? I welcome the
18 correction. Dr. Jaske is always the first to jump up to
19 correct me.

20 DR. JASKE: Rather than use that word, let me say
21 that I think staff's opinion is that the 2008 IEPR Update
22 made exactly the right call, that is, the Managed Demand
23 Forecast is not the right approach to use, which is what Mr.
24 Vonder is recommending, although he did not use that term,
25 that separation between committed and uncommitted remains

1 just as valid and vital going forward as it was when it was
2 created, you know, decades ago. Think of what the
3 predominant issue that has been raised today is not some
4 technical issues, although they are there and methodological
5 improvements would mitigate them to some degree, they are
6 policy issues. Who knows what level and frequency of
7 ratcheting of Title 24 is going to happen? Who knows what
8 the Federal Government is going to do? So by converting,
9 perhaps, is an interpretation of what Mr. Vonder is
10 suggesting, all of that uncertainty into several future
11 forecast scenarios, number 1, I do not know that anyone has
12 the ability to tell you what is the probability associated
13 with any of those scenarios, and further, the causative
14 forces of that uncertainty, namely the going forward policy
15 decisions that this and other agencies need to make, would
16 get diluted when it gets lumped in with a bunch of other
17 uncertainties. The whole idea of separating committed and
18 uncommitted is to put the spotlight on the uncommitted
19 proposals so that they shift from vague goals to at least
20 hypothetical program designs, which is where we are now, so
21 that you can judge on the basis of the 15 or 20 different
22 levels of disaggregation that are reported in the Itron
23 Appendix, different customer classes, and the different
24 program impacts, you can make a judgment about which of
25 those things are likely to happen, and high, medium, and low

1 variance, and the mixing and matching idea that has been
2 mentioned several times today may well be the best way for
3 the PUC to deal with that in this cycle, given this body of
4 information. Maybe there is some improvement that can be
5 done going forward, but to take away from the need to focus
6 on the likelihood of those 10, or 15, or 20 sector/program
7 combinations is absolutely the wrong thing to do. We need
8 to have the spotlight on those things so as we can make some
9 kind of a judgment, whether it is purely subjective or
10 otherwise, about whether they are going to be likely to
11 happen or not. And that is the dilemma -- not the dilemma
12 -- that is, I think, the challenge that the PUC understands
13 that they have at this point, and why Mr. Baker has already
14 suggested in writing that Utilities put forward their own
15 characterization of the likelihood of those things
16 happening, and all the other parties can throw their two
17 cents worth into it, and the PUC will make a judgment. At
18 this point, it is not anything more than a judgment. Maybe
19 we can do better in future cycles to put bounds on that, but
20 it is fundamentally a policy call, and it should not be
21 hidden inside the forecast.

22 COMMISSIONER BYRON: Agreed. Very good answer.
23 We have plenty of uncertainty as it is with the committed
24 energy programs.

25 COMMISSIONER WEISENMILLER: Yeah, I was going to

1 say, obviously what we need to do is present to the policy
2 makers the choice between some of these programs and some of
3 the other resource choices, and there will be uncertainty,
4 and we will have to deal with the uncertainty, God knows
5 there is uncertainty in what the policy makers would do, at
6 least we need to give them the tools to do that comparison.

7 COMMISSIONER BYRON: Thank you, Mr. Vonder.

8 DR. KAVALEC: If I could add just a little to
9 that?

10 COMMISSIONER BYRON: Dr. Kavalec.

11 DR. KAVALEC: I agree with Mike Jaske about
12 keeping the distinction between committed and uncommitted in
13 the forecast. But there is opportunity here for better
14 integration between the committed and the uncommitted
15 forecasts, and Mike mentioned one example of that, and that
16 was using the SESAT model in-house, and not having to rely
17 on Itron to do this uncommitted work -- as much as we love
18 Itron -- we would rather be able to have the in-house
19 capability. So I just wanted to add that integration of our
20 modeling process would be one step in addressing Mr.
21 Vonder's concerns.

22 COMMISSIONER BYRON: Thank you. Any -- Mr.
23 Alvarez, I just want to make sure that we are going to get
24 to everyone else, as well. Could I just have a show of
25 hands just to get a sense of others that wish to comment?

1 Okay, good. Mr. Alvarez, go ahead.

2 MR. ALVAREZ: Since the question of how we move
3 forward came up in this context in this last discussion, I
4 kind of want to make a point here and now that the working
5 group concept, as we look forward to what we are going to
6 do, is actually helping us to understand what is going on,
7 so those uncertainties can get discussed and understood
8 better in everybody's methodological techniques. Various
9 analysts are not going to give up their methods; that is
10 what they do, but understanding the implications is what we
11 are trying to get to here. So I would urge you to keep this
12 working group concept moving forward as we look at the next
13 cycle.

14 COMMISSIONER BYRON: Good, thank you. I think
15 there is general agreement on that and I think you are
16 absolutely right. That is what I take away from Mr. Baker's
17 presentation, that there is a great deal of increased
18 understanding around the assumptions and the modeling.

19 MR. ASLIN: Hello, my name is Richard Aslin and I
20 work for the Pacific Gas & Electric Company. We also, I
21 think, intend to file written answers to the set of
22 questions, and I hope that is acceptable, but I was not
23 quite sure on when the date for that will be.

24 COMMISSIONER BYRON: Oh, we have a deadline. Dr.
25 Jaske said it earlier? What is it?

1 MS. KOROSEC: February 25th.

2 MR. ASLIN: February 25th, okay. Thank you.

3 COMMISSIONER BYRON: And I do have your comments
4 from the earlier workshop and we look forward to your
5 answers to these questions. Did you want to say anything
6 and provide us with any input at this point?

7 MR. ASLIN: Yes. I just wanted to kind of take up
8 this issue of this committed vs. uncommitted. And I know we
9 have talked about it a lot and, in fact, now that I am
10 standing here, I think I might have even taken a vow never
11 to mention it again, but since it came up, I could not
12 resist. Here is my take on it. And this is actually the
13 view of PG&E, as well. And that is that the California
14 Public Utility Commission has committed us to pursue the
15 goals. The goals are what we are committed to. And Simon
16 even put up there, there was the decisions and they said
17 that we must include the numerical goals in all of our long
18 term planning. We do not need to be reinventing all the
19 time this what the uncommitted goals are, there is no
20 question at all as to what the goals are, the goals have
21 been codified. There is a whole proceeding, the CEC is part
22 of that proceeding, Itron is part of that proceeding, the
23 IOUs are part of that proceeding, we are all part of that
24 proceeding. The goals have already been decided. There is
25 no uncertainty about the goals.

1 COMMISSIONER WEISENMILLER: Well, let me remind
2 you, I think you may have been around, I am not sure, but
3 when Lenny Ross was at the PUC, which was in the mid-'70s,
4 at that point the Commission said the Utilities shall
5 procure all cost-effective conservation. That was a long
6 time ago and we are still struggling to get there, so it is
7 a good goal, but the details still have to be worked out.

8 MR. ASLIN: I do not disagree with that. It is
9 the goals that are currently set are stretch goals. But my
10 point here is that a lot of this confusion, and a lot of
11 this analysis could have been avoided, in my opinion, if the
12 CEC staff would simply adopt the same working definition of
13 what the committed goals are, or what is committed energy
14 efficiency, as all of the IOUs, the POUs, and my
15 understanding is also the CPUC has, which is that committed
16 energy efficiency is energy efficiency that is consistent
17 with the goals decision. And uncommitted energy efficiency
18 is any energy efficiency that is above and beyond that
19 level, and I think that, if we go forward into the next
20 cycle, you know, I would like to see that as the working
21 definition because, once we do that, then all of the goals
22 can be embedded within the base case demand forecast and the
23 discussion that we can have is around this issue of
24 reliability and what is the cost-effectiveness trade-off
25 between resources, just in time procurement, and energy

1 efficiency goals, and also what is the cost-effectiveness of
2 going above and beyond the goals. That is what I would like
3 to see. And I think that would really reduce -- it would
4 have, in my opinion, actually obviated the need for this
5 whole two years of analysis. I also certainly agree that
6 the real focus should be on figuring out what is the
7 historical amount of energy efficiency because, if we could
8 agree on what is the historical amount of energy efficiency,
9 we know what observed demand is, it actually happened; if we
10 could figure out what the historical energy efficiency was
11 and agree to that, and have some consistency between the
12 history of energy efficiency savings and the goals, it would
13 be a fairly simple task, in my opinion, to determine, you
14 know, how much is in the forecast and how much is not, you
15 can just look at the history, then you could look at the
16 goals, and you can see what the difference is. So if your
17 history says that you have been reducing peak demand by 250
18 megawatts per year for the last 10 years, and your goals say
19 in the future you will be decreasing demand by 350
20 megawatts, then you simply run your aggression equation,
21 forecast your sales, and then reduce it by 100 megawatts per
22 year. It is really -- I have never seen the need for all
23 this technical analysis. But I will put that in my
24 comments.

25 COMMISSIONER BYRON: All right, good. I like the

1 way you think. I wish it were simpler, as well. Would the
2 staff like to respond to Mr. Aslin's comments about either
3 of them, that we do not need to do all this sophisticated
4 analysis, or agreeing upon past energy efficiency as being
5 critical? I would like you to respond. You did not jump up
6 as quickly there, Dr. Jaske.

7 DR. JASKE: There are a number of ideas like
8 developing a consensus history that have been surfaced in
9 the Working Group meetings, and I sort of alluded to vaguely
10 in one of my earlier presentations. And that particular one
11 is, I think, a extremely positive suggestion that Mr. Aslin
12 has made in the past, and I think that we really do want to
13 go down that path. We are trying to focus on the positive
14 here, but there are a number of ways in which the historic
15 EM&V process has been focused on the next program design
16 cycle, as opposed to the kind of needs that forecasters
17 have, that sort of twist the focus somewhat in order to get
18 forecasting needs, you know, a little bit higher up the
19 priority queue. And maybe it is merely a function of
20 stepping up to the plate and saying we have these needs, and
21 let's recognize them in conjunction with all the others that
22 exist. Because the absence of agreed upon history, of
23 course, contaminates everything going forward. I think,
24 just to be as explicit as possible, the Energy Commission
25 should be telling the PUC that it should not have the kind

1 of goal setting process that it has today. The PUC wants to
2 establish long run goals, it should not be stating them in
3 absolute value terms, it should be stating them in terms of
4 these scenarios: "We are going to pursue, you know, these 20
5 policy initiatives, and those policy initiatives are what we
6 are committing to, not the numeric number." And then the
7 identification of the uncertainty associated with those
8 policy initiatives folds itself into this sort of technical
9 analysis that Mr. Aslin just said. But having an absolute
10 value goal makes it impossible to have the comparison of,
11 you know, a list of 20 candidate energy efficiency
12 initiatives vs. renewables, vs. distributed generation, vs.
13 everything else. You simply cannot do that mix and match
14 process, which is what we essentially need to get to that
15 kind of a structure. Whether the committee wants to be as
16 bold as staff in saying that straight out to the PUC when
17 this material gets transmitted to them is for you to judge,
18 but that is what staff's report says, that the PUC should
19 not continue to be having absolute value numbers, it should
20 convert to something which is tangible, trackable, and can
21 be compared to other things.

22 COMMISSIONER BYRON: Good. Mr. Baker.

23 MR. BAKER: We certainly appreciate Mr. Jaske's
24 remarks and we look forward to hearing what the Committee
25 has to say in the final report. On another related note,

1 however, I just wanted to mention that, as Ms. Best
2 mentioned earlier today, we do have some new EM&V data that
3 is surfacing for this '06 to '08 program cycle, and that
4 that will be consolidated in a report in mid-April, and so
5 if the PUC concurs and chooses to look at what is reasonably
6 expected to occur for energy efficiency in the Procurement
7 Proceeding in the pending LTTP, then that would be an
8 additional source of information that the Commission could
9 consider and parties could utilize in their pleadings to the
10 Commission about what is reasonably expected to occur in the
11 LTTP.

12 COMMISSIONER BYRON: Very good. Any other public
13 comment?

14 MS. KOROSEC: We do have two callers on the phone
15 here. Can you unmute Cynthia Mitchell? So Cynthia Mitchell
16 from TURN would like to make a comment.

17 COMMISSIONER BYRON: Go ahead, Ms. Mitchell.

18 MS. KOROSEC: I think we are getting her unmuted
19 now.

20 COMMISSIONER BYRON: Ms. Mitchell, go ahead and
21 start talking and we will tell you when we can hear you.

22 MS. KOROSEC: Oh, okay, Cynthia, your line is
23 unmuted, if you want to speak? We may have -- oh, she is
24 not on the phone, I am sorry, she is connected just to the
25 WebEx.

1 COMMISSIONER BYRON: Okay, it is hard to ask
2 questions if --

3 MS. KOROSEC: It is hard to ask questions just
4 through the WebEx.

5 COMMISSIONER BYRON: Do you have another?

6 MS. KOROSEC: We have another caller, Faramarz
7 Nabavi said he was not going to be available until 4:45, so
8 I am not sure if we will have him on or not.

9 COMMISSIONER BYRON: We may be done by 4:45.

10 MS. KOROSEC: Faramarz, are you on the line?
11 Apparently not, so I --

12 MR. NABAVI: Hello. Yes, this is Faramarz.

13 MS. KOROSEC: Okay, can you speak a little more
14 loudly?

15 MR. NABAVI: Yes, this is Faramarz Nabavi. Is it
16 my turn to ask questions?

17 MS. KOROSEC: Yes, please.

18 MR. NABAVI: Great, thank you. I have several
19 questions during the course of the various presentations, so
20 I will ask them together here.

21 COMMISSIONER BYRON: Mr. Nabavi, is there an
22 organization that you represent?

23 MR. NABAVI: I am not representing an organization
24 here, I am a member of the RETI Stakeholders Steering
25 Committee and I am just asking questions and I am not

1 providing public comment, just one clarification on a couple
2 of items.

3 COMMISSIONER BYRON: Please, go ahead.

4 MR. NABAVI: Thank you. So the first question is
5 for Carmen Best. I wanted to understand the difference
6 between gross and total market gross on Slide 6. She did
7 explain the difference between net and gross, but I was not
8 clear on what the difference between gross and total market
9 gross are. I also have two questions for Michael Ting. One
10 was if he could --

11 COMMISSIONER BYRON: Hang on a second, we will
12 take your first one. Let's take your first question, either
13 a short answer or refer him to where he can get his answer.

14 MS. BEST: Yes. You can find your answer in
15 Appendix B, Attachment B, but the very short answer is gross
16 is just for IOU programs, and total market gross encompasses
17 more than just IOU programs. But look in Attachment B.

18 MR. NABAVI: Okay, thank you.

19 COMMISSIONER BYRON: Thank you, Ms. Best. Go
20 ahead with your next question.

21 MR. NABAVI: Thank you. And then I have two
22 questions for Michael Ting, one was what is the difference
23 between the goals -- IOU Programs and CEC-IOU Programs in
24 Slide 33?

25 MR. TING: The difference is the CEC estimates of

1 IOU program savings vs. the estimates of IOU program savings
2 according to the '08 Goals Study.

3 MR. NABAVI: So that is -- so they are distinct
4 and not overlapping?

5 MR. TING: They -- okay, let me try to boil it
6 down, so those results that you are looking at, the inputs
7 and the baselines have been reconciled to the best of our
8 abilities, such that the results are comparable. So the
9 line that you are looking at is the savings from IOU
10 programs as modeled by the CEC and reconciled with the SESAT
11 modeling framework, so that you can then compare them to the
12 IOU program savings in the goals scenarios that were modeled
13 in the same modeling framework.

14 MR. NABAVI: So the goals are on top of what the
15 CEC has done and you have reconciled the model so that they
16 are incremental, there is no overlap?

17 MR. TING: Correct.

18 MR. NABAVI: Okay, and then the other question I
19 had for you was, with regard to the decayed savings
20 replacement, over the course of the various presentations, I
21 think I understood that what Itron did was it assumed 100
22 percent based on earlier guidance from CPUC, but now CPUC is
23 looking at only 50 percent decayed savings replacement.
24 What I am trying to understand is what is qualitatively in
25 the goals and in the CEC-IOU Programs, and to what extent,

1 for example, in your previous presentation two weeks ago,
2 there was a very similar slide to the one I just discussed
3 where you showed what occurred if the CEC-IOU programs are
4 assumed to have 100 percent decay. And the difference went
5 into the Goals-IOU program bucket, if you will. So what I
6 want to understand is, if we are assuming that there is no
7 decay, or there is only 50 percent decay, and those programs
8 are going to continue to generate -- no, sorry -- the
9 existing energy efficiency work will continue to generate
10 savings beyond the committed program period, what exactly is
11 going into these goals? Is there an assumption that there
12 would be new unidentified IOU Programs that would be
13 implemented? What is it?

14 MR. TING: So I am sorry, you lost me a little
15 bit. So you are asking about the measured decay assumptions
16 that are embedded in the Goals scenarios for IOU programs?

17 COMMISSIONER BYRON: No. I apologize, gentlemen,
18 this is Commissioner Byron and I apologize, but Mr. Ting and
19 our questioner, in the interest of time, I am going to ask
20 if the two of you might connect up and you might be able to
21 help him with this, but just in trying to save everyone
22 else's time here, and because the hour is late, and because
23 these are just questions and clarification, I think that
24 might be a more efficient way to get to the answer.

25 MR. TING: No problem.

1 MR. NABAVI: Could you provide Mr. Ting's contact
2 information on the WebEx, if possible?

3 MS. KOROSEC: Yeah, we will do that.

4 COMMISSIONER BYRON: Yes, we can do that. And I
5 apologize, you have been very patient with your questions,
6 but we have a room full of folks here and we are approaching
7 5:00 and I think we need to try and close.

8 MR. NABAVI: That is fine, if you could just put
9 up contact information, that would be great. Thanks.

10 COMMISSIONER BYRON: That information, I am told,
11 will be provided to you. Any other public comments on
12 WebEx?

13 MS. KOROSEC: Yeah, we are going to open up all
14 the lines and see if we can get Cynthia if she is on one of
15 the other things. Cynthia, are you there?

16 MS. MITCHELL: Hi, this is Cynthia.

17 MS. KOROSEC: Yeah, we can hear you now.

18 MS. MITCHELL: Oh, that is great. Thank you so
19 much. This is Cynthia Mitchell. I am the Principal with
20 Energy Economics and TURN's consultant on energy efficiency.
21 We have been participating in the DFEEQP Workshops and, as
22 such, we wanted to say hats off to all of those involved in
23 sorting out the committed and uncommitted EE savings in what
24 appears to be a very satisfactory manner. TURN is very
25 involved in the CPUC Proceedings, on the IOUs EE Portfolios,

1 including but not limited to a review and analysis of the
2 IOUs Forecasted EE savings in 2006 through 2009, and the
3 projected energy efficiency savings in this current cycle
4 portfolio, the 2010 through 2012. TURN has brought that
5 expertise to bear in a fairly detailed review and analysis
6 of the forecast of committed and uncommitted EE savings. We
7 will be providing written comments on this next week,
8 February 25th, and we are looking forward to continued
9 participation in the DFEEQP Workshops, and we are available
10 for discussions with CEC staff and other interested parties.
11 Given the limited time and the late hour, let me offer
12 TURN's bottom line recommendation. That is that we adopt
13 the lower case scenario, that would be the higher forecast
14 with lower EE savings, for purposes of the upcoming Long
15 Term Procurement Planning process. The analytic basis for
16 our recommendation, and I will just give you the high points
17 of it, is as follows: the IOUs 2010-2012 EE program savings
18 that are included in the CEC Forecast are as projected by
19 the Utilities, that is, there are no adjustments to that
20 forecast. The IOUs 2010-2012 EE programs are very similar
21 to the '06-'09 programs. Now, as explained by Carmen Best,
22 the IOUs '06-'09 reporting savings were adjusted downward by
23 Energy Division based on ED's October 2009 Verification
24 Report. This worked out to be about a 10 percent downward
25 adjustment in the utilities reported savings. As Mr. Baker

1 just referenced, the ED October 2009 Evaluation is just the
2 first step of a three-step evaluation process that ED is
3 currently involved in. The second step was the public
4 vetting in December and January of about a dozen Energy
5 Division measurement verification reports on the '06-'08 EE
6 Programs. This did not include an analysis of the M&V
7 results bottom line basis to the IOU reported savings, ED
8 just has not had time to do that yet. TURN did conduct an
9 analysis of the bottom line impact and we provided a very
10 high level finding result to Commissioner Grueneich via a
11 letter dated February 8th, 2010, and we can make sure that
12 you have a copy of that. The bottom line finding on that is
13 that those savings for '06-'09 should most likely be just
14 adjusted downward by 40 percent, this could be an additional
15 30 percent reduction from ED's October 2009 work, okay?
16 There is one more M&V step or analysis that is underway that
17 TURN estimates will further adjust the IOUs reported savings
18 for '06-'08 downward by another 10 percent for a total
19 downward adjustment of 50 percent. Okay? What this all
20 boils down to is that, when you go to your CEC Report,
21 beginning at the Attachment B section, I believe it is
22 around page 9, which shows the IOUs 2010-2012 EE savings as
23 forecasted relative to the Goals, Carmen Best a few minutes
24 ago, or a couple hours ago, I believe, had a slide showing
25 PG&E and she said there is very little cushion in these

1 projected savings for 2010-2012 relative to the EE Goals.
2 As I stated earlier, the 2010-2012 programs are very similar
3 to the '06-'09 Programs, with the forecast of IOU peak
4 demand megawatt savings highly dependent upon space cooling
5 savings, okay? This is a very big component of the IOUs
6 core program and a huge component of the CPUC Big Bold
7 Initiative, that is, across the zero net energy construction
8 for residential and non-res, and then there is the stand
9 alone heating ventilation air-conditioning initiative.
10 Without going into details here, California is not where it
11 wants or needs to be in achieving space cooling savings via
12 the Utilities EE programs, or the Big Bold Initiatives,
13 which are just in the earliest stages of rolling out; thus,
14 for these reasons and other reasons that TURN will cover in
15 our written comments, we recommend that it is more prudent
16 to go forward in the Long Term Procurement Proceedings with
17 the lower case scenarios, that is, the higher forecast and
18 the lower energy efficiency savings. Thank you.

19 COMMISSIONER BYRON: Thank you, Ms. Mitchell. We
20 do not get TURN participation very often in our proceedings,
21 we are glad to have you. But I suspect we all understand
22 why you are participating. Ms. Korosec, any more comments?

23 MS. KOROSEC: We have no other commenters, no.

24 COMMISSIONER BYRON: Commissioner, any closing
25 comments?

1 COMMISSIONER WEISENMILLER: Well, I certainly want
2 to thank everyone for their participation today and
3 certainly thank the staff of the Commissions for undergoing
4 this effort in trying to parse out some of these issues. We
5 certainly look forward to people's comments. And, again,
6 hopefully we are not at the very beginning, but we have made
7 some significant progress, but there is still more to go.

8 COMMISSIONER BYRON: Commissioner, it is good to
9 have you on this committee. I think it is clear from your
10 comments that you are going to bring a lot of strength to
11 this issue and others on the Commission. I note that the
12 Chairman had to leave early, but her advisor is present, so
13 we have the benefit of having direct input to her office, as
14 well, and we have some recommendations to consider. I
15 think, as you all know, Dr. Jaske and Dr. Kavalec give us
16 well considered recommendations, and we have those hear
17 today. I would like to thank everyone for your involvement
18 and participation in this process not just today, but
19 obviously there are a lot of other times when the working
20 group has met, and previous workshops, and staff. We have a
21 lot to consider. I wish -- I was trying to think of an
22 analogy, and I will be short, but having just watched last
23 month the new Boeing 787 take flight, I was reminded that
24 Boeing came out years ago and committed an energy efficiency
25 savings on their fuel savings on this aircraft long before

1 they could develop it, and General Electric, I believe, as
2 the engine developer, had to come up with it, to pick a
3 number, say it was 10 percent fuel savings, and they went
4 out and sold a bunch of aircraft on that basis with
5 penalties if they did not deliver, obviously. And it is a
6 black box to everyone, no one knows what goes on in that
7 engine that saves it 10 percent on fuel, and as policy
8 makers, I suppose, that is all we are interested in, is the
9 result. But it is a little more complicated in this case,
10 we need to know what is going on in that engine, we need to
11 know because the sources of the savings get dissected and
12 have bearing on considerations at the Public Utilities
13 Commission, but we also do not really have the data that
14 Boeing has. They can measure the fuel going in and the
15 miles traveled, and it is a lot more complicated in this
16 case. So the analogy breaks down quickly. But we have to
17 look inside that engine, we have to know what is going on,
18 we will certainly consider the recommendations of staff
19 carefully. And I would like to again thank you all for
20 being here. If this were but a lot simpler, but it is very
21 important and we are going to continue to push the goals
22 forward in this state. We applaud the Public Utilities
23 Commission's efforts to set these absolute goals and I am
24 not sure I am in complete agreement with Dr. Jaske, but we
25 will look at whether or not we need to make recommendations

1 to the PUC on how you might go forward. Nevertheless, we
2 will continue to support you in your long-term procurement
3 process. I am glad to hear that these results will be
4 useful to you. It is a process that will continue.

5 Ms. Korosec, one more time, the date that comments
6 are due?

7 MS. KOROSEC: February 25th.

8 COMMISSIONER BYRON: Thank you all for your
9 participation. We are adjourned.

10 (Whereupon, at 4:57 p.m., the workshop was adjourned.)

11 -o0o--

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I, PETER PETTY, a Certified Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Workshop; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said meeting, nor in any way interested in outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 22nd day of February, 2010.


PETER PETTY