

DOCKET

09-ALT-1

DATE MAY 27 2010

RECD. JUN 07 2010

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:

Alternative and Renewable Fuel and
Vehicle Technology Program 2010-2011

) Docket No. *09-ALT-1*
)
)
)

FY 2010-2011 INVESTMENT PLAN PUBLIC WORKSHOP

California Public Utilities Commission

505 Van Ness Avenue, Auditorium

San Francisco, California

THURSDAY, MAY 27, 2010

9:00 A.M.



ORIGINAL

APPEARANCES

CEC

Leslie Baroody

Charles Smith

Peter Ward

Public

Richard Schorske

Andy Campbell, California PUC

Ben Ovshinsky, Efficient Drivetrains, Inc.

Adam Lankton [phonetic]

Jonah Margolis

Len Pettis

Guna Saladuray

Jaylan Turkkan

Rea Williamson

I N D E X

	Page
Opening Comments	
Leslie Baroody	4
Presentations	
Charles Smith	7
Peter Ward	9
Questions and Answers	19
Public Comment Period	34
Adjournment	58
Certificate of Reporter	

1

1 P R O C E E D I N G S

2 MAY 27, 2010

9:15 a.m.

3 MS. BAROODY: Well, good morning everybody. It
4 looks like everybody is here after some rain delays. We had
5 some slowdowns on BART today. But we are really glad that
6 you could be with us today. Thank you very much for coming.
7 We also have people listening in on WebEx. And just so you
8 know, we are recording the session today.

9 I am Leslie Baroody. I am Project Manager of the
10 2010-2011 Alternative and Renewable Fuel and Vehicle
11 Technology Program Investment Plan. We are glad to be here,
12 again, at the CPUC in San Francisco. We were here last fall
13 for one of and the five industry stakeholder workshops we
14 held on electric drive infrastructure. Now, I just want to
15 thank Matt Crosby for letting us be here at the CPUC and
16 arranging this meeting today.

17 Well, after I discuss the AB 118 Program, Charles
18 Smith, our Co-Project Manager for the Investment Plan, he
19 will review the status of the AB 118 funds, and that will be
20 followed by Peter Ward, and he is our AB 118 Program
21 Manager. And he will present the 2010-2011 Investment Plan.
22 After our presentations, we will have time for questions,
23 and then after that we will have a public comment period.
24 If you would like to speak during the public comment period,
25 we have some blue cards and if you could fill that out and

1 hand it to Jonah here.

2 The Alternative and Renewable Fuel and Vehicle
3 Technology Program was established by Assembly Bill 118 in
4 October of 2007, and later amended by AB 109 in 2008. The
5 purpose of the program is to develop and deploy innovative
6 technologies that transform California's fuels and vehicle
7 types to help attain the State's climate change policies.
8 Since 2003, key policies have been adopted in California to
9 achieve the State's petroleum reduction and climate change
10 goals. Prior to AB 118's adoption, Executive Order S 305
11 established the goal of petroleum fuel use reduction to 15
12 percent below 2003 levels by 2020. In 2006, AB 32 was
13 adopted, which established the goal of reducing greenhouse
14 gas emissions in California to 1990 levels by 2020, and 80
15 percent below 1990 levels by 2050. AB 1007, the Pavley
16 Bill, adopted in September of 2005, required the Energy
17 Commission to develop a plan to increase the use of
18 alternative fuels in California. The resulting State
19 Alternative Fuels Plan set the goal of increasing
20 alternative and renewable fuel use. Finally, Executive
21 Order S 606 established an in-state biofuels production goal
22 of producing in California 20 percent of biofuels used in-
23 State by 2010, 40 percent by 2020, and 75 percent by 2050.

24 In order to provide a market mechanism to carry
25 out these policy objectives, AB 118 authorizes the Energy

1 Commission to develop and deploy innovative fuel and vehicle
2 technologies to achieve the State's key climate change and
3 energy policy objectives. The program spans seven and a
4 half years and it has a sunset date of January 1st, 2016. In
5 Fiscal Year '08-'09, \$75 million was awarded, and in Fiscal
6 year '09-'10, \$101 million was awarded for a total of \$176
7 million. In the current Investment Plan, the 2010-2011, the
8 request is for \$108 million. These awards are to be made
9 without adopting or advocating any one preferred fuel or
10 technology. They also cannot be used for projects that are
11 required by state, federal or district rules or regulations.

12 The program addresses the state's need for
13 workforce training for the emerging green economy and the
14 need for job creation in California. And the Energy
15 Commission must also establish sustainability goals to make
16 sure the program's projects do not adversely impact natural
17 resources. Getting the word out about the program through
18 marketing and public education and outreach is essential to
19 ensure success of the program. Finally, there is an ongoing
20 need for technical assistance, as well as environmental,
21 market and technology analysis to support the development of
22 the Investment Plan.

23 The Energy Commission is required to develop and
24 adopt an annual Investment Plan which determines the
25 priorities and opportunities for program funds. This plan

1 must include input from an Advisory Committee throughout its
2 development. The process of developing the Investment Plan
3 involves stakeholder input via workshops, a public docket,
4 and Advisory Committee meetings. For the 2010-2011
5 Investment Plan, we conducted five public industry workshops
6 for each of the fuel types last fall and have held two
7 Advisory Committee meetings since then. Three public
8 workshops are also required for the Draft Investment Plan
9 and that is followed by a 30-day public review period and
10 public hearing on the final draft report.

11 As you can see by the schedule, after this third
12 workshop we will have completed all of them, and we will
13 incorporate any changes into the Investment Plan and it will
14 be posted on our website by the end of June. And then we
15 will have a 30-day public review period, at which time the
16 Energy Commission will likely adopt the plan on July 28th.

17 So that is the overview. Once again, thank you
18 for being here and I would like to introduce Charles Smith.

19 MR. SMITH: Thank you, Leslie. My name is Charles
20 Smith. I am going to do a quick review of the funding that
21 the Energy Commission has committed to as part of the
22 previous Investment Plan covering Fiscal Years '08-'09 and
23 '09-'10. First of all, we have invested \$50 million in a
24 series of agreements to promote workforce development as it
25 pertains to alternative fuels and advanced vehicle

1 technologies. We had an ARRA cost sharing program that we
2 allocated approximately \$36.5 million to, and from that we
3 leveraged about \$93.6 million in Federal contributions for
4 state alternative fuel projects. We have closed a number of
5 PONs, three totaling approximately \$44.8 million, one for
6 biomethane production for about \$21.5 million, one for
7 medium- and heavy-duty vehicles for about \$9.5 million, and
8 fuel infrastructure projects for \$13.8 million. We have
9 also entered into a master interagency agreement with the
10 State Treasurer's Office for a combined \$39.9 million, \$14.9
11 million of which will go toward the new biofuel plants, and
12 another \$19 million for manufacturing facilities. Both of
13 those PONs have closed and we will begin scoring those
14 proposals. Upcoming, we have an existing Ethanol Producer's
15 Incentive Program and that will provide funding to ethanol
16 producers if the market value of ethanol hits below a
17 certain level.

18 In the coming weeks and months, we have plans to
19 put together a medium- and heavy-duty vehicles Center of
20 Excellence solicitation for \$6.6 million; we have a hydrogen
21 fueling infrastructure solicitation that should be coming
22 out within the next week or so, and that will be for
23 actually \$19 million, and we hope to enter into an
24 interagency agreement with AC Transit for hydrogen fueling
25 for \$3 million, propane school bus incentives, \$2 million,

1 it is on the way, it is a sustainability analysis to assist
2 us in our work, it is \$2 million. Actually at, I think,
3 just the most recent Energy Commission Business Meeting, the
4 Commissioners approved a \$4 million agreement with the
5 Division of Measurement Standards, and that is going to be
6 needed to establish standards for biodiesel and hydrogen
7 fuel. And then, finally, we have a little less than \$1.5
8 million intended for work with the National Renewable Energy
9 Laboratory and UC Irvine street model, to help us guide our
10 investments.

11 At this point, I would like to turn over the
12 microphone to Peter Ward, who will is going to give a walk-
13 through of the new Investment Plan.

14 MR. WARD: Good morning, everybody. Thanks for
15 coming. I am Peter Ward, Program Manager with the
16 Alternative and Renewable Fuel and Vehicle Technology
17 Program. Thank you all for coming and being on the phone
18 this morning. I think we are at a very interesting point
19 for our program since much of the initial Investment Plan
20 funding has gone out and we are anticipating going forward
21 with the next Investment Plan. The Investment Plan summary
22 is outlining funding for the next Fiscal Year 2010 and 2011.
23 We have \$108 million allocated for that. We are continuing
24 with the methodology that we used in the first Investment
25 Plan, so we would target the most GHG reduction as

1 consistent with the statute for our program, the purpose of
2 which is to help the state achieve its climate change goals
3 as soon as possible. The landmarks for the GHG reductions
4 are AB 32, the 2020 goal of reducing our GHG emissions to
5 1990 levels by the year 2020, and the Executive Order from
6 Governor Schwarzenegger for reducing further 80 percent
7 below 1990 levels by the year 2050. That is a generally
8 accepted goal for greenhouse gases and we adhere to it, as
9 well. It is an ambitious goal, it is very difficult, over
10 the last couple of years we have increased our GHG output,
11 and that is the wrong direction, but we are hoping to turn
12 that around and I think this program can go a long way to
13 help that. In the Investment Plan, we are continuing our
14 ongoing analysis of the gaps in Federal and private funding,
15 other public funding, by fuel type, so that we make sure
16 that the funding that we are providing for this program is
17 not redundant to any other sources and can actually have a
18 useful effect as we go forward and making the most use of
19 ARRA funding and not duplicating other efforts already
20 underway. We have a section in our Investment Plan that
21 discussed the market and program development and these are
22 categories that are not directly tied to GHG reductions, but
23 they are very important to our program so that we can
24 address the standards and certification for different fuels,
25 the market entry barriers that exist, and also do quite a

1 bit of the analysis that is going to be a key component to
2 this program. We need to make sure that we are informing
3 this program of the latest developments and the latest
4 science in regard to greenhouse gases, petroleum reduction,
5 and criteria emission reduction, so these elements of our
6 program are key for us to make sure that we are informed
7 every step of the way and we are making the best decisions
8 for investment of public dollars.

9 Funding allocation for electric drive - we will go
10 right to the different categories - many of these are
11 continuations, this Investment Plan is more of an update
12 than a dramatic change from the past, but we feel that the
13 categories that we embarked on in the first Investment Plan
14 are very useful, and so we will be continuing many of those.
15 The first is developed and demonstrated advanced on- and
16 non-road medium- and heavy-duty technologies, and that is
17 slated at \$14 million, infrastructure-related activities, \$3
18 million, and manufacturing facilities and equipment, \$7.5
19 million. We have been fairly successful in the past for our
20 old state solicitation, and direct contracts to the Federal
21 solicitation for manufacturing facilities, one of the
22 Federal ARRA; unfortunately, California did apply and many
23 good projects, and it would have been a very useful economic
24 development activity, however, the \$2 billion made available
25 from the Federal Government, they did not see their way fit

1 to provide any to California, no dollars to California out
2 of the \$2 billion offered. So we, I think, have a great
3 opportunity still in California to using public money, and
4 to the extent that additional Federal Stimulus money is
5 available, we would take full advantage of that, as well.
6 This is key for California to continue its legacy of
7 innovation and development, going way back to aviation,
8 aerospace, and information technology, when it continued
9 that into the green technologies base, or the advanced
10 vehicle component of manufacturing, fuel production as well,
11 and so we think some of these offerings will be great
12 California economic stimulus.

13 I think Charles went over the funding that we have
14 available, and I believe a solicitation will be released
15 today for \$19 million for hydrogen infrastructure. For next
16 year, we have slated \$14 million. We will be putting this
17 in the Investment Plan, and closely monitoring the results
18 of the solicitation that is to be released today. We think
19 the \$19 million can go a long way to provide the necessary
20 infrastructure as we roll out additional and larger numbers
21 of fuel cell vehicles in California. California is the host
22 state for the light-duty fuel cell vehicle project on a
23 national basis, and so we are happy to host that and we are
24 adding money to that, and we think we have a very aggressive
25 solicitation going out now, and we are hoping that the

1 Federal Government can come back to the table and provide
2 additional funding for some of the infrastructure that is
3 needed for this national program now hosted in California.

4 Funding allocations for gasoline substitutes, this
5 is a bit of a change; in the past we have discussed ethanol,
6 primarily, but this could and probably will be much broader
7 in the future. We are still working on ethanol projects,
8 but there may be other types of fuels, there will be drop-in
9 fuels and alternative fuels in the future, and so we thought
10 a broader title for this will be more useful. We will be
11 continuing the expansion of E-85 dispensers and retail
12 outlets for \$8.5 million, this is following up to funding
13 that we provided, I believe it was about \$5 million for E-
14 85, and leveraged a considerable amount of Federal dollars
15 and private investment for E-85 stations in California from
16 the first Investment Plan. This would be a continuation of
17 that. Gasoline substitutes production, so many of these
18 would be renewably produced, and so we would like to
19 entertain the notion of feasibility and feedstock
20 development and actual production of these fuels in the
21 future, in California, again, another economic development
22 aspect that we think is quite important to get the economy
23 in California and the people back to work in California as
24 we can.

25 Now, on a similar vein, we have gone away from the

1 biodiesel, renewable diesel, these are "diesel substitutes,"
2 so we are expanding the title of it to make sure that we
3 encompass every fuel that could potentially be a diesel
4 substitute, and for the production of diesel substitutes, we
5 have slated \$5 million for this next Investment Plan. This
6 does hinge greatly on the Federal Tax Credit for biomass-
7 based diesel production, which has stalled in the Congress.
8 It expired on December 31st of last year, and we are hoping
9 that Congress will take this back up and provide that
10 dollar, again, and maybe even on a retroactive basis, and so
11 we stand ready to help in the diesel substitutes production,
12 and hopefully bring some of the production that has gone
13 down in California, to bring that production back up,
14 particularly from waste resources where we think that the
15 GHG and the carbon content of these fuels can be very very
16 low.

17 We would be continuing our investment in bulk
18 terminal storage and blending facilities, we allocated \$4
19 million in the last Investment Plan to this, and we have
20 selected projects for that, and so we would like to continue
21 that because this is an area that is not really covered by
22 the conventional diesel providers, and this is a segregated
23 type of terminal storage and blending facility that is
24 needed to make sure that the supply of biodiesel or biomass-
25 based diesels can be fairly ubiquitous into the distribution

1 system.

2 Funding allocation for natural gas, medium- and
3 heavy-duty vehicles, we have \$12 million. We were very
4 successful in attracting Federal money to California for a
5 natural gas heavy-duty and medium-duty, and we would like to
6 continue that effort. Upgrades to existing fueling
7 facilitations, this includes a lot of the investment that
8 has gone in over the last 10-15 years in California, to
9 those stations that now have to re-certify their tankage or
10 they need to upgrade or expand their capacity at these
11 stations. We are proposing \$2 million for these upgrades,
12 and I think this is a very important area, as many public
13 agencies and cities and counties and municipalities have
14 suffered from low funding. And to maintain these stations,
15 of good investments in prior years, we would like to see
16 these continue so they can continue to use natural gas as a
17 fuel. This could include the many school bus districts that
18 are operating natural gas school buses in the state, and
19 they are faced with a dilemma as to whether or not to
20 continue to use natural gas because their system of fueling
21 has declined a bit over time, and so we want to help them
22 with that upgrade and to make sure that they continue that
23 investment into natural gas.

24 Biomethane production plants and quality testing,
25 for \$10 million, this is a very successful part of our

1 program, and in the first Investment Plan, we allocated \$10
2 million, and we have doubled that to \$21.5 million, and we
3 have some excellent projects that we are recommending for
4 funding. We are going into business meetings quite soon.
5 Biomethane is one of the lowest, if not the lowest, carbon
6 fuel possible in the alternative fuels space. U.S. EPA has
7 called biomethane a "twofer" if you will, and that is that
8 it captures the fugitive methane emissions from landfills
9 and dairies and other facilities, captures those fugitive
10 emissions of methane which are very potent in the
11 atmosphere, and providing that fuel as a vehicle fuel, which
12 is very low carbon-based from the fact that it is produced
13 from waste resources. We are adding \$10 million to that
14 effort, to continue on the good development that we have
15 seen in California. Biomethane is a pathway to many other
16 renewable fuels and renewably derived fuels, including
17 hydrogen and electricity, as well. And to that end, we will
18 provide some of this funding for quality testing. I think
19 that will be key as this gas can enter the pipeline, but it
20 must be tested to assure its quality, to make sure it does
21 not degrade the pipeline or the gas that is already in that
22 pipeline. We are happy to help with that, so long as that
23 gas ends up for a transportation use and not for generation
24 or any other use that is not related to transportation, as
25 our program is centered on the transportation space.

1 The funding allocation for propane, last year we
2 had \$2 million primarily for school buses, propane school
3 buses that certify by U.S. EPA and the California Air
4 Resources Board. We are continuing that, and adding an
5 additional \$1 million, and including light- and medium-duty
6 vehicles into that, as well. There are several companies
7 that are interested in providing these types of vehicles for
8 pick-up trucks and shuttle fleets, as well as the propane
9 school buses that have been certified and approved in
10 California.

11 This is an area that I am very very interested in
12 as we go forward, this may be entitled "those way cool
13 things that we have not discovered yet," our funding for
14 innovative technologies, and that is the optimized, the
15 alternative renewable fuels, control systems, and vehicle
16 fuel integration systems. This can be constantly improved.
17 One example, the use of alternative fuels can be greatly
18 enhanced by adding hybridization into those vehicles, as
19 well. Hybridization works for gasoline and diesel vehicles,
20 but it works for alternative fuel vehicles, as well.
21 Advanced internal combustion engines resulting in at least a
22 40 percent efficiency improvement, light weighting
23 materials, improved energy storage, battery recycling and
24 reuse, electronic and electrified components, idle
25 management technology and aerodynamic retrofits that

1 decrease fuel consumption. And this is proposed at a total
2 of \$3 million.

3 Funding allocation for Market and Program
4 Development, as I mentioned, this is a key component to our
5 program. We want to make sure this program is informed in
6 the best possible way. Program marketing and public
7 education and outreach at \$2.5 million, sustainability
8 studies, and sustainability is a key component to our
9 program, we want to make sure that the systems, fuels and
10 vehicles that we offer assistance for are the most
11 sustainable going forward. That means much, much, much more
12 sustainable than the past systems that we have seen. Toward
13 that end, there is an awful lot of work that has been going
14 on in sustainability and we want to add to that and keep
15 abreast of that to the fullest extent possible, bringing in
16 sustainably derived feedstock, best management practices,
17 and for all the facilities that are established in
18 California, setting a higher sustainability standard for
19 those.

20 Technical Assistance and Environmental Market and
21 Technology Analyses will be key. This is the component that
22 we will use to make sure that we stay abreast of all the
23 developments in the environmental market and technology
24 analyses, that is, fuel market assessments and technology
25 evaluations, to make sure that our investments are necessary

1 and sufficient, to make sure that they can advance those
2 technologies and fuels to the marketplace.

3 That concludes my presentation of the draft
4 Investment Plan. I think Leslie pointed out our schedule,
5 we would love to hear from you. There are a couple of ways
6 to do that. One is by sitting here with us, another is by
7 being on the phone or on our WebEx with us today, and thank
8 you again for that, another way is to submit your comments
9 formally to our docket, which is open for this Investment
10 Plan. In reality, we never really close our docket, our
11 docket is always open as we want to hear from the public at
12 any time about any of the issues that we are proposing in
13 this program. We are wide open to that and I hope that you
14 will take the opportunity to correspond with us in that way,
15 or be present at the meetings and, again, thank you for
16 coming today.

17 MS. BAROODY: Thank you, Peter. Well, we have
18 time now for any questions from you. We will take any
19 questions from this audience here, and any on the WebEx, so
20 feel free to come up to the mic if you have questions.

21 MR. CAMPBELL: Andy Campbell with the California
22 PUC. I have a question about the schedule. I wonder if you
23 could provide kind of rough outlines or beyond what you
24 showed here after the adoption of the plans, or what do you
25 hope in terms of issuing proposing funding notices and you

1 making selections and actually providing funding?

2 MS. BAROODY: Well, once the plan is adopted at
3 the end of July, we will begin a solicitation process and
4 that could take a month or two, depending on how things roll
5 out. So the whole process could be several months into the
6 fall. Anything to add, Peter?

7 MR. WARD: I think that is about right. We are
8 hoping that this next round of solicitations will be much
9 quicker, we have some experience on the first solicitations
10 that have been a great help to us, and we will not be
11 involved in the Federal solicitation process under ARRA,
12 which our funding initially was contingent upon them
13 approving projects, and they had a delayed evaluation
14 process, we think, that we can get up and operate a little
15 more quickly than we have in the past, and we are hoping
16 that will be the case coming this fall.

17 MR. CAMPBELL: All right, thank you.

18 MS. BAROODY: Thank you.

19 MR. OVSHINSKY: Ben Ovshinsky from Efficient
20 Drivetrains. Peter, I think, a whole bunch of questions.
21 On the funding allocations for innovative technologies,
22 those bullets, is that the limits of the specific
23 categories? The general question is, for example, where
24 would continuously variable transmission development that
25 fits hybrid EVs, plug-in hybrids, etc., would that fit into

1 this? That is the general question. Specifically, what do
2 you guys have in mind for controls in that first bullet, and
3 electronic and electrifying components, what do you guys
4 anticipate? What is your thinking on that? And idle
5 management technology, what are you thinking about that?
6 You know, what you are looking for, I guess. That is one
7 set of questions on one slide.

8 MR. WARD: Well, I know that you read the
9 Investment Plan -

10 MR. OVSHINSKY: Last year.

11 MR. WARD: Oh, last year's Investment Plan, this
12 is a little bit - this Investment Plan is more expansive
13 than last year's was, I think. And we have identified some
14 specific areas in the Investment Plan and they probably
15 address most of your questions.

16 MR. OVSHINSKY: Okay.

17 MR. WARD: We would like to have alternative fuels
18 incorporated whenever possible, electric drive train,
19 obviously, is one of those. The improved efficiency, and if
20 we are improving efficiency through continuously variable
21 transmissions and other mechanisms, then that helps not only
22 conventional, but alternative fuel use, as well. So I think
23 we are generally open to most of these things that you are
24 suggesting.

25 MR. OVSHINSKY: Great.

1 MR. WARD: But we can talk further, as well.

2 MR. OVSHINSKY: Right and I will read it on BART
3 back. Which segues to the next question, because of BART
4 coming, I was late, there was a 30-minute delay at Oakland.

5 MR. WARD: That is what I heard.

6 MR. OVSHINSKY: Yeah, but it got here. So the
7 question is, on the medium- and heavy-duty vehicles Center
8 of Excellence, I walked in right at the moment when he was
9 mentioning that, but was there any description further about
10 the purpose of that and what you are looking to fund in
11 that? Or is that also - I presume it must also be in the
12 document?

13 MR. WARD: It is in the document, but this is what
14 I was describing as California starting to maybe take a
15 leadership role in this area and bring back the legacy of
16 innovation and development that we have had. And this is
17 designed to do just that. We will be releasing a
18 solicitation fairly soon for that one, as well.

19 MR. OVSHINSKY: And just a side bar question, has
20 CalSTART been involved in helping form that consent?

21 MR. WARD: CalSTART has been awarded the Center of
22 Excellence under a PIER Program, I think, just within the
23 last two months.

24 MR. OVSHINSKY: So they will establish that
25 center?

1 MR. WARD: No, they will establish the one for
2 PIER, ours is going to be open to solicitation, and we have
3 not gone after that solicitation yet, so I do not know who
4 will form that one.

5 MR. OVSHINSKY: I am going to have to talk to both
6 you and Ray to find out - presumably this is all
7 coordinated, these two centers.

8 MR. WARD: Theirs is - because that is a PIER and,
9 as I mentioned, for those who do not know the PIER program,
10 it is the Public Interest Energy Research Program, their
11 view is by research, R&D and pre-commercial demonstration,
12 and in ours, we can do research and development, but we can
13 also go all the way through to commercialization, so while
14 there may be a little apparent overlap, we do try and
15 coordinate as best as we can. I think their Center of
16 Excellence is looking at, I guess, the left side of that
17 continuum, and it will be the early or applied research and
18 development, that is a different set of excellence concepts
19 than we have here.

20 MR. OVSHINSKY: One last question. On the funding
21 allocation for market and program development, technical
22 assistance and environmental market technology analysis, the
23 \$6 million, is that going to you guys to upgrade your
24 understanding? Or is that going to be contracted out? Who
25 do you imagine will be the recipients of that?

1 MR. WARD: It could be - we have technical support
2 contracts, we have other agreements that we will be going
3 forward with. I think Charles mentioned a couple of those.
4 We are working with University of California Irvine on their
5 street model, which they established for hydrogen in the
6 Southern California area. We asked that they expand that to
7 all alternative fuels and in all parts of the state, that is
8 one thing that is out of the past with the former Investment
9 Plan. In addition to that, we will be striking an agreement
10 with the National Renewable Energy Laboratory so that they
11 help, as we gather and inform the program, as well. Those
12 are in the past, this would be a continuation of those types
13 of agreements, we have not set that yet, but we want to make
14 sure that this is a component that is robust and that we are
15 well informed every step of the way, and every year on the
16 path of this program.

17 MR. OVSHINSKY: Okay, thank you very much.

18 MR. WARD: Thanks, Ben.

19 MS. BAROODY: Thank you. Anybody else? Any other
20 questions? If not, on the phone? I think you are unmuted
21 if you want to speak up, or will be unmuted shortly. Okay,
22 you are unmuted. If you have a question, please state your
23 name and go ahead. Mark - is it Mark Gillon [phonetic]?
24 No? Nobody? Okay, I guess we do not have any further
25 questions. Richard?

1 MR. SCHORSKE: Hi, Richard Schorske with the
2 Electric Vehicle Communities Alliance and the Bay Area EV
3 Corridor Project. I know that in the Investment Plan in
4 previous years, we have also had a distribution among the
5 fuels that was significantly weighted toward hydrogen and
6 other technologies than electric drive, or other fuel types,
7 and I just wondered what has been the conversation among the
8 staff about the ramp up of electric drive relative to other
9 all fuel vehicles, particularly given that the 2011 is sort
10 of our target year for really significant deployment of EVs
11 into the market?

12 MR. WARD: We have noticed your progress. And I
13 want to say that I think that the regional efforts that have
14 been underway for many years in EVs has been very very
15 obvious to us at this point. We are embarking on an area
16 that will be a very rapid growth area as we estimate it, and
17 our estimates are based on much of the work that you folks
18 have done. In these regional areas, there has been a
19 substantial amount of planning and coordination, and I noted
20 in the proposal that we are recommending for funding in the
21 Bay Area, and there are a host of involved agencies,
22 companies, and public and private, all in great interest to
23 making sure that we have a well-coordinated roll-out of EV
24 charging stations across the state. We would like to join
25 that effort as - and try to perhaps be the center post for

1 many of these regional studies and come up with a continuum
2 of our work on the evaluation of electric drive potential in
3 California. We think it is great. We are seeing many
4 announcements from the OEMs and the small vehicle
5 manufacturers that we have to pay close attention to. In
6 the funding that we provided, we provided some for you
7 folks, but we also are proposing to provide two Clipper
8 Three funding that would update many of the investments we
9 have seen in EV charging over the past, well, 15 years ago.
10 We want to make sure those are upgraded into the newest
11 equipment, making sure that people, as they anticipate
12 purchasing an EV, that they get over their range anxiety,
13 which has been expressed to us many times. I think once we
14 do that, we do want to make sure that we can evaluate and
15 foster the development of home charging to a large degree.
16 This has always been our focus at the Energy Commission. We
17 want to make sure that individual EV buyers and users can
18 charge at home, we think that is good for them, we think
19 that is excellent for the state because most of that
20 charging will occur off-peak. Energy Commission has the
21 responsibility for siting power plants in the state, so we
22 are very cognizant of this issue. That having been said,
23 because we do site our plants, and we understand that there
24 are many many more peakers being proposed, we do think it is
25 important to focus like a laser beam on those off-peak

1 charging opportunities. Additionally, I think our roll-out
2 of EV infrastructure is sound because we want to make sure
3 that people overcome their range anxiety and foster a market
4 development that takes up the vehicles that will be offered
5 by the manufacturers here very soon. So we want to catch up
6 with your efforts on a regional basis, but we want to use
7 the resources that we can bring to it, as well, to provide a
8 robust and continually updated state plan for EV
9 infrastructure and charging.

10 MR. SCHORSKE: May I follow-up on a couple items?

11 MR. WARD: Sure.

12 MR. SCHORSKE: Just, you know, as you are well
13 aware, there was a somewhat idiosyncratic distribution of
14 funds from the Federal side with respect to San Diego,
15 having roughly \$20 million for infrastructure, and other
16 cities getting none from the DOE solicitation last summer.
17 But, as you look at what is really required for, you know,
18 2011 to 2012, in terms of a reasonable balance of charters
19 to vehicles in the major metro areas, probably \$20 million
20 is about right for a city the size of San Diego, or a region
21 the size of San Diego, and you kind of do some basic math,
22 and it seems like a consistent proportionate investment in
23 California EV SE infrastructure over a couple year period
24 would probably be certainly a bit in excess of \$100 million.
25 And what we have on the state side is, you know, over two-

1 year six. Now, here in the Bay Area, we have been
2 extraordinarily fortunate that the Metropolitan
3 Transportation Commission has a solicitation out now, we do
4 not know what the results will be because EV is not the only
5 fuel option and associated broad GHG reduction initiative in
6 the transportation domain. But we have put together
7 something to backfill the incremental difference between
8 what was awarded and what we have requested from your last
9 solicitation, where we were awarded \$500 K out of a \$1.9
10 million request. And then, in addition, to bring it up to
11 about 500 charters, Level 2 and a dozen or so Level 3, it is
12 going to require another \$6-7 million, which would be great
13 to get from the region, but we do not know what the outcome
14 will be. But, again, taking a look at that being a very
15 basic infrastructure for \$7 million pop region, and perhaps
16 some tens of thousands of vehicles over the next couple
17 years, it just strikes me that we have, you know, \$22
18 million on the hydrogen side for, you know, I know there are
19 buses and some important uses in that domain, but for really
20 a tiny handful of fundamentally demonstration R&D type
21 vehicles, and I have computed in the past that the subsidy
22 per vehicle on the hydrogen side, as you know, is probably
23 \$7-\$10.00 per vehicle, per station, vs. it is well under
24 \$1.00, it is in the \$.10 to \$.20 range per vehicle, per
25 station for the EV. So it just is a striking imbalance when

1 you look at the GHG reduction impact and the fundamental
2 efficiencies of electric, of EVs vs. hydrogen. You know, it
3 does raise questions about how seriously the program is
4 focused on sustainability metrics that were considered by
5 statute to be at the core of the program. So I am just
6 saying, you know, there has been some comment about that in
7 the past, I know, in the briefings, but we do not see any
8 change in the allocations, and now we are a couple years
9 down the road.

10 MR. WARD: Well, let me just say, in the past
11 year, I know I have been involved in the hydrogen space of
12 this and what we are trying to do is make sure the
13 allocation that we have for hydrogen meets the needs for the
14 next two to three years, and that is our hope. We had hoped
15 to provide the same metrics and a deeper view into the EV
16 infrastructure, we have done this in the past a bit, and we
17 hope to continue our efforts. We want to join with all the
18 regional areas to make sure that we have it right. We want
19 to make sure that our funding is necessary, we all agree
20 that it is, but we want to make sure that it is sufficient,
21 as well, for that, and I think you can help us by providing
22 some additional comments to our docket. I would recommend
23 your comments are well taken here today, I would like to see
24 if you could bring those to our docket, as well, and we do
25 consider those in the final approval of the Investment Plan,

1 as well. We are open to that. We want to be partners with
2 all of those regions, and I think you folks are the boots on
3 the ground that we want to catch up with a bit.

4 MR. SCHORSKE: Okay, well, thank you very much. I
5 will provide comments to the docket. I was just with Leslie
6 before this meeting talking a bit about also the situation
7 in the Central Valley where they have not had the
8 development of a kind of locally driven EV coalition, and
9 did not look forward to a program, and I think one of the
10 issues is that it has been so competitive and will remain so
11 competitive that, you know, just a few regions, namely L.A.,
12 San Francisco Bay Area, and San Diego from the previous, are
13 getting the lion's share of the funding, and we have yet
14 this very important high pollution region in the San Joaquin
15 Valley that has not organized. And my own feeling is, you
16 now, until we see another \$2-4 million added to the pot in
17 the statewide pool for EV infrastructure, it is hard to
18 understand how you are going to build out and include the
19 Valley and other areas in the Central Coast, other areas
20 that may not have gotten a proportionate investment.

21 MR. WARD: I think that is an invitation for you
22 folks to expand your realm of organization in the community
23 development for the Central Valley. I would love to see
24 that same type of organization fostered there, as well. You
25 make good points. That is a high unemployment area, it is a

1 very difficult and impacted air quality area, and it is a
2 very low economic development, as well. So that is an area
3 we would like to see further developed and we think it is
4 viable. To our thinking, unfortunately, we cannot respond
5 to a solicitation when no one provides a document from that
6 area, but we hope to expand the location. If we believe it
7 is necessary, we want to make sure it is sufficient to meet
8 the needs, and your comments on the scale of project roll-
9 outs and EV infrastructure roll-out would be very useful to
10 us.

11 MR. SCHORSKE: Thank you very much.

12 MR. WARD: Thank you.

13 MS. BAROODY: Thank you. Any other questions?
14 Come on down.

15 MR. LANKTON: My name is Adam Lankton [phonetic].
16 I am with the Energy Division here at CPUC. I just had two
17 quick questions about EV infrastructure. In terms of the
18 number of publicly accessible chargers that you think are
19 necessary, I wanted to see what your thoughts are on the
20 number of chargers that would be necessary per electric
21 vehicle, that is the number of publicly accessible chargers,
22 if you had a sense of what that number needed to be in the
23 short term and perhaps the long term. And my second
24 question concerns Level 3 chargers, and currently there is
25 no standards for the couplers for Level 3 chargers, and

1 there is not a standard for the level of voltage or amps
2 that those chargers should operate at. And so I wanted to
3 get your thoughts on how we proceed with Level 3 chargers,
4 development on those chargers, in the absence of standards.

5 MR. WARD: I probably - I would love to talk to
6 you more about this. You have specific things in mind,
7 apparently, and I really am not sure I have got the right
8 number for roll-out for public chargers on a per vehicle
9 basis. I think that the folks that are involved in the
10 regional consortiums are probably in a very good spot to
11 know that number better. We do want to focus on home
12 charging, it would be great if every EV had one home charger
13 available to it, I know that is not possible in all
14 situations. But the relief of having publicly available
15 opportunity charging is one that can enhance that. But in a
16 perfect world, I think ETV would have a home charger for it.
17 I think that makes the ultimate sense because it would be
18 decidedly charging off-peak, and that is really what we need
19 to focus on, is off-peak. So if you can provide any
20 additional information that you - it seems like you are very
21 versed in this subject, I would like to hear from you
22 directly on this if you would not mind providing into our
23 docket, we will pay close attention to it, even our planning
24 efforts. We are hoping to have this agreement that we are
25 striking with the National Renewable Energy Lab will focus

1 this as a prime and rapidly developing area, one that they
2 can help us with as we continue planning for the roll-out of
3 these stations, as well. So I would like to hear from you
4 and all other parties in this regard because this is a
5 quickly changing area as the OEMs are providing vehicles in
6 apparently large numbers in the out years here. So would
7 love to hear from you.

8 MR. LANKTON [phonetic]: And any thoughts on the
9 Level 3 chargers?

10 MR. WARD: I do not have any particular thoughts.
11 I would like to hear from you on that issue so we can frame
12 it properly, making sure that we address it in the most
13 realistic way.

14 MR. LANKTON: All right. Thank you.

15 MR. WARD: Thank you.

16 MR. OVSHINKY: Ben Ovshinky again from Efficient
17 Drivetrains. If I can presume to speak for him, which I
18 cannot, one of the thrusts of the Level 3 charger questions
19 is what happens when the Level 3 chargers are kind of
20 randomly or higgly piggly on the retailer or consumer side,
21 or whatever, installed without planning or coordination with
22 the utility. It is my understanding that a few of those can
23 knock out a substation.

24 MR. WARD: You definitely want to avoid that, that
25 is why, in all of our discussions, we will be including all

1 the regional areas, the OEMs, and the utilities, in all of
2 our discussions. They need to be present at the table, as
3 well. Thank you, Ben.

4 MS. BAROODY: Okay, is there anybody on the WebEx?

5 MR. MARGOLIS: I will be unmuting people online
6 one more time. Everybody, you are unmuted, if you have a
7 comment.

8 MS. BAROODY: Okay, no questions. Any further
9 questions here? If not, we will move on to the public
10 comment phase and so, if you have a public comment and you
11 would like to come down and either do a PowerPoint
12 presentation, or read a statement, Jonah, you have a list of
13 blue cards, I believe. One? Okay. If you would like to
14 come up, did you want to make a presentation? Go ahead.

15 MR. PETTIS: Good morning. My name is Len Pettis.
16 I am Chief of Plant Energy and Utilities at the California
17 State University. And here with me today, and first of all,
18 I want to thank the Commission staff, Leslie, Charles and
19 Peter, I appreciate the opportunity to be here with you this
20 morning. For those folks here in the lecture hall, and
21 those folks online, on behalf of the California State
22 University, thanks for the opportunity to make this
23 presentation today. Here with me today are Dr. Guna
24 Saladuray, Dr. Rea Williamson, Associate Vice President of
25 Research at California State East Bay, and Dr. Jaylan

1 Turkkan, Associate Vice President of Research and Sponsored
2 Programs at San Francisco State University. Staff, I know
3 that you are aware that we already did make a presentation
4 at Long Beach, and so I will make my overall comments brief
5 regarding the California State University System, and then
6 introduce my colleagues to talk specifically about the
7 important research in research programs and workforce
8 development curriculum that they are developing, that
9 hopefully staff will recognize as a supporter for this
10 program.

11 Our goals here today are to present what we are
12 doing, and it is coincidental that the recent Economic
13 Impact Report was just released, and Chancellor Reid
14 [phonetic] presented to the Legislature just last week,
15 acknowledging CSU's contribution to the workforce and
16 applied research programs across the State of California.
17 So we would like to highlight those programs and we would
18 also like to propose, again, and reemphasize our desire to
19 encourage the Commission staff to increase or strengthen the
20 focus on workforce development and applied research, and ask
21 possibly for a future seat on the Advisory Board.

22 Currently, we have current and future degreed certificate
23 programs at the Bachelors and Masters level. So in looking
24 at the CSU, for those folks that do not know, we are the
25 largest and most diverse public university system in the

1 United States, serving 430,000 students and 80,000
2 graduates, graduating a more diverse population than
3 anywhere else that we currently know of, and we are very
4 proud of that. With respect to some system-wide policy and
5 some things that are going on, as you know, we are very much
6 keyed into protecting our environment and having involvement
7 with student, faculty, and our administrative staff on all
8 of our campuses, and as noted here, in 2009, we received
9 recognition from the Environmental Protection Agency as
10 being in the top 20 as an entity that purchases green power
11 from the Grid. We also have a sustainable sign program
12 where 33 of our new facilities and/or major renovations on
13 16 campuses are LEED accredited, LEED certified. Many of
14 those, I believe 16 of those buildings, are LEED Silver or
15 higher. We also would make note that two of our campuses
16 are currently now in the Hydrogen Highway System in
17 California, one in Southern California, and that is
18 California State University of Los Angeles, and Humboldt
19 State University in the northern part of the state. And
20 finally, in general, in the educational program our
21 commitment to sustainability, of course, we need to mention,
22 and again thank the Commission for the support to Sacramento
23 State for the Smart Grid Program, and we are hopeful that
24 that funding and the support funding that is required to
25 make use of the ARRA funds will, in fact, come to fruition

1 and we will have a Smart Grid Demonstration Center that we
2 can all be proud of and learn many great things from.
3 Environmental Research and Clean Technology Centers exist
4 also in many of our campuses across the states, some
5 examples, as you know, Peter, at your former alma mater,
6 Chico, is a leader in Clean and Innovative Technology
7 Center, as well as many other campuses in the system. The
8 Green Campus Program, in recognition of the Alliance to Save
9 Energy, has been a significant compliment, and I think we
10 again encourage the Commission to invite those students to
11 help participate in your outreach program, they have done
12 some fantastic things, some very innovative things, and
13 creative things in creating apps on iPhones and Smart
14 Phones, and many other programs that really have warmed the
15 hearts of all of us in the system about how innovative they
16 have been without spending a whole lot of money, and they
17 have been very effective with their communication, so we
18 appreciate that.

19 And so, now if I could, I would like to turn it
20 over to one of my esteemed colleagues, Dr. Guna Saladuray,
21 and he is going to talk more about the institutional
22 requirements that we offer at CSU.

23 MR. WARD: Len, that is an excellent idea of using
24 students. I think we would like to take hold of that
25 opportunity, that would be great.

1 DR. SALADURAY: Thank you, Len. Good morning,
2 everyone. My name is Guna Saladuray. I am the Associate
3 Dean for Research at the College of Engineering at San Jose
4 State University. For now, I am representing the entire
5 system because we are all part of the CSU System, and very
6 proud to be part of that excellent system. The CSU System
7 is probably the State's largest provider of professionals,
8 educated in the Bachelors and Masters Degree levels, it is
9 half of all Bachelor's Degrees awarded in the State of
10 California, and also about a third of the Masters Degrees
11 awarded in the State of California are really from the CSU
12 system. In terms of disciplines, specific areas, probably
13 some of the disciplines that are most related to the topic
14 that we are discussing here, 45 percent of all engineering
15 graduates in the State of California come from the CSU
16 system; similarly, about 54 percent, more than half, in the
17 area of Business, and in Agriculture 62 percent of all BS
18 and MS level graduates in the state are produced actually by
19 the CSU system. And we are also very proud of the fact that
20 we make higher education accessible to a large variety and
21 cross section of the population. Many of our students are
22 coming from families where nobody ever went to college, and
23 they are the first college-goers in their entire families
24 and extended families, as well. This has provided
25 significant upward mobility to a large cross-section of the

1 population, but perhaps more important than that is that it
2 has made talent available far more than it would be
3 otherwise because we have talented people at all levels of
4 the socioeconomic ladder, and what the CSU system does is
5 that it provides them with the opportunity to produce as
6 much as possible for the benefit of the rest of the state.
7 At this point, I would like to invite another esteemed
8 colleague of mine, Dr. Jaylan Turkkan, from San Francisco
9 State University campus, to continue with the presentation.

10 DR. TURKKAN: Thank you. Hi everyone, I am Jaylan
11 Turkkan, Associate Vice President for Research at San
12 Francisco State. Thank you for inviting us to speak today
13 about our Basic Research, Applied Research, and all the
14 educational programs that we have, that speak directly
15 towards biotechnology related to biofuels production.
16 Keeping my hat on as on the CSU System side, we have a
17 number of what we call Affinity Groups, and these are
18 interdisciplinary groups of faculty and students around
19 particular thematic areas. And for the past 20 years, one
20 of our strongest Affinity Groups has been the CSUPERB
21 Program, which is the Program for Education and Research in
22 Biotech. As you might imagine, a lot of our focus has been
23 towards the pharma industry, but they have also recently
24 turned their attention towards biofuels, in particular, and
25 have formed a partnership for next generation biofuels

1 production process where they actually take students,
2 graduate and undergraduates, and place them in actual
3 bioproduction/biofuel production settings, so that they
4 learn hands-on and have direct industry experience in these
5 kinds of contexts. This is at least 45 faculty across 14
6 CSU campuses. Some example projects you can read between
7 Sonoma and Santa Rosa, to build these two digesters, as you
8 can see in the picture, transforming harvested biomass into
9 biomethane rich biogas. Another example is, at Chico, where
10 they have actually worked with local Ag Cooperatives to get
11 surplus biomass, some almond and wine biomass, to optimize
12 preparation of biofuels. Again, local sources on a local
13 scale to provide renewable fuel for transportation and farm
14 equipment. Right now, they are working on 15-20 students a
15 year, and this is a valuable program, but it is, as you can
16 see, extremely small-scale, so they are tasking about trying
17 to get funding to upscale this thing to at least 300
18 students across the state.

19 Now, putting on my hat for San Francisco State
20 University, in particular, we have a number of basic
21 research projects in Applied projects, and one of them that
22 we have our fingers crossed, we are about to hear about
23 funding from the DOE on a joint venture between Royal Dutch
24 Shale and HR BioPetroleum. Bill Coughlan at our Marine
25 Laboratory Fuels Station out near Romberg Tiburon Center out

1 in Marin County has been looking at algal biomass production
2 to optimize phytoplankton lipid productivity as a function
3 of different environmental factors. So, I know you all know
4 this, but our Internet audience might like to be reminded
5 why this kind of algal production is important. For
6 example, they are the fastest growing plants in the world,
7 they do not compete for food and water supplies, there is no
8 land required, mainly you need saltwater and an added
9 benefit is that phytoplankton consumes carbon dioxide, which
10 is a major greenhouse gas, through photosynthesis. So,
11 again, we are waiting to hear about this very exciting
12 consortium between the university and these commercial
13 enterprises funded by the U.S. DOE.

14 We also, in our School of Engineering, Professor
15 Ed Chang is looking at - so that is on the biofuel
16 production side, we are also interested in how do biofuels
17 actually work in combustion engines. So Professor Ed Chang
18 in the Engineering School has been working with Sandia Labs
19 to look at combustion and fuel efficiency of biofuels in a
20 sort of novel optical engine -- I think I need to move this
21 forward -- a novel optical engine where they have these
22 coarse windows that allow visualization of ignition
23 processes and luminosity rising from soot incandescence, and
24 which indicates how much soot is formed during the
25 combustion process, so you can imagine that, at some point,

1 using all these different parameters, and balancing all
2 these variables, you get optimal fuel efficiency with the
3 lowest amount of particulate production from these engines.
4 So that work is also funded by the Department of Energy,
5 accruing to San Francisco State University.

6 And then, finally, putting an educational hat on,
7 we have an Industrial Assessment Center in our School of
8 Engineering where students go forth every year into actual
9 commercial settings and do energy assessments and pretty
10 much come out at the end of it becoming energy engineers,
11 but the important thing about this is that, while right now
12 it not specifically focused on biofuel production plants and
13 the like, it can be easily upscaled, sidescaled, to
14 integrate that into any kind of biofuels initiative. Okay,
15 so I am going to turn myself over now to my esteemed
16 colleague, Dr. Rea Williamson, who is the Associate Vice
17 President for Research at CSU East Bay.

18 DR. WILLIAMSON: Thank you. Thank you, Jaylan,
19 and thank all of you for having us here. At CSU East Bay,
20 under the guidance of our recently hired - we have been
21 there two years now - but President Mo Qayoumi, we have
22 undertaken an initiative to really focus on Science,
23 Engineering, Technology, and Mathematics, and one of our
24 approaches is to really look at the collaborations that we
25 think we can establish with the laboratories that are in

1 close proximity to our campus, other world class research
2 institutions, so U.C. Berkeley, the Lawrence Berkeley
3 National Lab, Lawrence Livermore, Sandia, USDA Western
4 Research Institute, the list goes on, so our faculty, a
5 number of our faculty, are being bought out 100 percent time
6 to work in these laboratories, we have graduate students
7 working in the labs on a variety of cutting edge research
8 topics, including biofuels, solar technologies, fuel cells,
9 and environmental remediation topics. Another approach that
10 we have taken is to really collaborate with the industries
11 and the cities and communities along the East Bay Corridor,
12 so we are a member of the East Bay Green Corridor
13 Partnership, which brings from the City of Richmond, all the
14 way down the Bay, past Hayward, and incorporates all of the
15 cities, it actually was initiated down at the Office of
16 Mayor Tom Bates in Berkeley, and it includes a number of the
17 Universities and Labs and Cities, but also the start-up
18 companies and industries in what is a concentrated area for
19 Biotech and Clean Tech companies in the East Bay. One of
20 the initiatives of the Corridor is to expand the supply of
21 biofuels, so actually it should be on that screen, sorry,
22 and so some of those goals for expanding biofuels are to
23 support biofuel research, technology transfer, that is a big
24 issue that goes on between research and universities, and
25 industry, support the development of biofuel stations such

1 as the Chevron Station that is located in Concord -- CSU
2 East Bay, I should have mentioned, also has a campus in
3 Concord - to support the development of biorefinery projects
4 for manufacturing biodiesel and developing training programs
5 for handling and manufacturing biodiesel, because, of
6 course, if you are going to build the facilities and create
7 capacity, you need to also have the engineering and science
8 trained people, the researchers, and the workforce
9 developed.

10 Our campus has also been identified as one of two
11 locations for a PG&E sponsored fuel cell, and that is a
12 project that still, as you all know, still is in the
13 process. But when completed, the waste heat from the fuel
14 cell will be used to heat the swimming pool and the Art
15 building, there will be a kiosk and a center for training
16 and teaching, and we have a team of faculty who have already
17 developed a work plan for developing the curriculum around
18 fuel cell and other alternative technologies, so it is a
19 very exciting world out there, and I am really delighted
20 that CSU East Bay and the CSU as a whole are a part of it.
21 So now I am going to, once more, invite my esteemed
22 colleague, Guna Saladuray, to come back up and finish up for
23 us. Thank you.

24 MS. BAROODY: Thank you.

25 DR. SALADURAY: Thank you, Rea. I would like to

1 spend a couple of minutes introducing the San Jose State
2 University Campus and what we have been doing in the area of
3 the technology that we are talking about. We have a total
4 of on the order of \$70 million a year in externally funded
5 research grants, which has grown significantly over the last
6 seven or eight years. We are also located in the heart of
7 Silicon Valley, which is extremely exciting, and many of us
8 faculty have ongoing collaborative relationships with
9 Silicon Valley companies in technology development and
10 technology testing, as well. On campus, sustainability has
11 been a priority and has been a directive from our President,
12 John Whitmore, and the emphasis he places on sustainability
13 is reflected by the fact that we have a faculty member who
14 has been appointed as the Sustainability Officer for the
15 entire campus, reporting directly to the President.

16 Talking about just the College of Engineering in
17 the last three to four years, we have been very active in
18 curriculum development at the Bachelors and Masters levels,
19 focusing on a variety of topics that relate to not only
20 vehicles, but renewable energy, as well. And I have just
21 provided a list here. We also have an MS Degree program in
22 Green Engineering and Clean Technology that we just started
23 about six to eight months ago, and it will be rolling off
24 the blocks in the fall of 2010, which is within the next few
25 months. In the area of research, we have a Center for Green

1 Electronics and the main purpose of this center is to
2 motivate energy efficiency among laptop users and
3 manufacturers of wire real time feedback, so that as people
4 are using their laptops, and actually other consumer
5 electronics, as well, they will have a very good idea of the
6 energy consumption. And we feel that what we are trying to
7 do is we are trying to include social psychological
8 cognitive behavior into energy consumption patterns because
9 this way we need to start making changes within the human
10 mind, as well. So we are working with social psychologists
11 and psychologists, as well.

12 We have a faculty member who is working on
13 improved extraction of fuels from biomass, particularly as
14 Jaylan mentioned earlier, and a couple of patterns have
15 already gone on this new and improved technology and we
16 expect to see fruition of this. We have had a fairly robust
17 program within the College of Engineering on sustainable
18 urban transportation, one of which, the ZEM vehicle, is
19 actually a hybrid human battery solar powered vehicle, and
20 the technology here is really development in the electronics
21 that is related to the switching over from one source of
22 energy to the other, with them actually being constantly
23 recharged either by the human effort and/or solar. Along
24 with this is a significantly improved Regenerating Braking
25 System that we have just completed the development of, and

1 it is currently undergoing testing. We expect that the
2 efficiency of the RBS will be improved by about 30-40
3 percent over current generation RBS systems, which have
4 mostly been used for about 13-14 years throughout the world.
5 And we thought, you know, to get student participation and
6 interest, it would be good to incorporate this into a go-
7 cart so that they can zip around all over the campus.

8 So, again, on behalf of my colleagues here and the
9 entire CSU system, we would like to thank you very much for
10 giving us this opportunity to speak with all of you about
11 our capabilities in alternate fuels and vehicle technology.
12 We have great strengths in applied research, as well as our
13 education programs at the Bachelors and Masters Degree
14 levels, where we educate the professionals who are essential
15 for sustenance of the manufacturing, development, and
16 research for a robust economy in California. And we also
17 have excellent relationships and continue our outreach with
18 the K through 12 system, our partnership with community
19 colleges, and the University of California system. Our
20 facilities and infrastructure are always available as living
21 laboratories, so that best practices in alternate fuels and
22 vehicles technology can be developed and in support of the
23 California Energy Commission's Investment Plan, as well. As
24 we all move forward together, we look forward very much to
25 being partners with the California Energy Commission. Thank

1 you very much.

2 MR. WARD: Thank you all for coming today. We
3 appreciate your presentations very much. It is very helpful
4 to see how our next generation is going to take up what we
5 have started here and move forward with it probably more
6 quick than we did. So thanks again.

7 MS. BARODY: Thank you very much. Very good.
8 Any other presentations or comments? I think we have
9 another one here.

10 MR. SMITH: For those of you on WebEx, we are
11 uploading another presentation at the moment.

12 MR. SCHORSKE - Members of the staff, thank you for
13 the opportunity to present today. Again, I am Richard
14 Schorske with the Electric Vehicle Communities Alliance and
15 I am also representing an initiative that has been co-
16 sponsored by my organization, Clean Fuel Connection, EPRY,
17 and General Motors, called "Ready Set Charge California,"
18 and I just want to acknowledge that my colleague on this
19 effort, Egan Joffe, has presented on this, I believe in
20 Sacramento, on at least a couple of occasions. So I know
21 you are generally familiar with the effort, but I want to
22 just highlight a couple of areas that we are particularly
23 focused on, as targets of opportunity in the coming year
24 with respect to addressing how do we accelerate and simplify
25 the installation of home chargers for all the stakeholders

1 involved, especially the consumers, of course, and how do we
2 bend the cost curve, if you will, on installation of public
3 chargers as we go forward into new construction and major
4 remodels of both commercial and residential building.

5 As you know, well, I will just get into the
6 presentation and talk a little bit about each of those two
7 areas. First of all, as you know, there is a large scale
8 deployment of plug-in electric vehicles anticipated
9 beginning late this year. There is about 100,000 Nissan
10 Leaf hand raisers that have said they are interested in
11 buying, and that is being converted already into several
12 thousand folks that have put down deposits. If a quarter of
13 those people are Californians, roughly, or more, which is
14 likely, we could easily have a five-digit deployment of
15 these in California in a year or so, and that is just on the
16 EV side and, of course, the Chevy Volt is coming, as well.
17 But the EVs are most critical with respect to publicly
18 accessible charging, as well as residential charging, and we
19 really wanted to do something that would prepare the market
20 to accelerate the deployment of residential charging with
21 respect to reducing the current time to install, from a
22 customer saying, "I need a charger" to getting that
23 installed. And a lot of this has to do with communication
24 between all the parties involved, the utilities, the auto
25 dealer, the EV SCE installer, and the consumer. And the

1 permit person, or the building official that is responsible
2 to sign-off typically to inspect and to sign-off sometimes
3 in two steps with the charger installation. This is not a
4 category of funding that has been identified in a very
5 specific way up until now, insofar as it really represents
6 kind of a planning and streamlining function that is
7 inherently interstitial among all the stakeholders, and I
8 wanted to just highlight the importance of it for consumers
9 because a 30-45 day delay in getting a charger installed is
10 really a non-starter for someone who buys a EV and needs
11 their charger in order to drive. So, of course, the car
12 dealers are very cognizant of those and are working closely
13 with infrastructure providers, but fundamentally it is going
14 to take, in many cases, some independent entity to bring
15 folks together, to make sure those hand-off points are done
16 in as condensed a way as possible, and to address the issue
17 that some buyers may not participate in a manufacturer
18 provided installation program, or otherwise encounter
19 difficulties that could be addressed through some kind of a
20 vendor mutual solution provider, if you will.

21 So specifically, "Ready Set Charge California" is
22 convening auto and EV SCE provisional equipment
23 manufacturers, utilities, regional and local governments,
24 and EV organizations, to develop some statewide solutions to
25 the EV infrastructure challenge, with an initial focus on

1 installation process streamlining and consumer awareness,
2 more generally, of the installation issues and solutions.
3 What we are looking to do is to develop an information
4 checklist that is common to all of the parties involved.
5 EPRY has taken a lead with PG&E in providing a basic manual
6 to practice, it is rather voluminous and complex, we are
7 looking to bring it down into a manageable byte sized set of
8 documents, and some of that work is already ongoing with
9 Clean Fuel Connection and others, and we are looking forward
10 to working with the CEC in defining some appropriate
11 elements for that kind of information on a statewide basis,
12 as well as for resources to make sure that this happens
13 expeditiously, and in time for the broad market
14 introductions.

15 Another aspect of this has to do with getting
16 information to consumers before they are purchased, with
17 respect to the challenges that they might face and the
18 solutions that are available on the EV SCE side. This is
19 particularly appropriate for multi-unit developments where
20 people are in apartments or condos, but they really do not
21 know how they are going to get something in there, and there
22 is not necessarily an entity defined that ought to take the
23 lead on that, an individual car dealer is not going to take
24 responsibility for walking through all the issues that
25 pertain to how to deal with a Homeowners Association at an

1 apartment complex, a public housing complex, and so forth.
2 These are very very labor intensive and challenging
3 situations. It is all brand new stuff. Everybody's parking
4 space is a big emotional attachment. And we are only just
5 beginning to find out how complicated this is. Some
6 utilities, notably San Diego Gas & Electric, and Edison, and
7 others, are really taking the lead and devoting a lot of
8 research to this, and many others are not, and some are
9 small public utilities, others are just not sure what their
10 role is yet, or do not see a business case for getting
11 involved in that kind of complexity, and we are really
12 concerned that the many many dwellers of apartments, condos,
13 and rental housing simply will not know what to do, and
14 neither will the car dealers in some cases.

15 MR. MARGOLIS: I apologize to everybody. [WebEx]

16 MR. SCHORSKE: And so what we are trying to do is
17 define within each region a group that can, in fact, address
18 these issues on a multi-unit side, and if there is not a
19 clear set of stakeholders who have come together to bring
20 those stakeholders together and make sure that there is a
21 defined effort in a multi-unit space, to be able to go after
22 that. It could be - I have not actually done the analysis,
23 but I would presume it is at least 25 percent of the State
24 is in either rental housing or multi-unit housing, and for
25 them, the issues around home charging are totally unclear.

1 So this is a critical area, again, for an independent vendor
2 neutral entity to come in and organize an approach that is
3 going to be workable in the long run.

4 Another issue that we have coming up is this EV
5 ready building policies, and many of the jurisdictions in
6 California have already done a lot of work to come up to
7 Title 24, Title 25 of the Building Code, the State Building
8 Commission efforts, and to address things like
9 photovoltaics, and a number of issues that pertain to that.
10 Well, we really have another wave of issues that pertain to
11 the EV infrastructure that would benefit greatly from some
12 statewide coordination and education and
13 intrajurisdictional, as well as interjurisdictional work.
14 Specifically, as you all know well, the cost factor in
15 individual installation in a publicly accessible situation
16 can vary from a couple thousand dollars to \$10,000 to
17 \$15,000, depending typically on how much trenching is
18 involved, on how close the charger is to an electrical
19 panel, and just some basic construction-type issues with
20 that. When you build from scratch with an EV-friendly
21 Building Code, there is a provision, as there has been in PV
22 for some Building Codes, there could be a provision for
23 stub-outs for EV stations, charger units, and built on the
24 residential and commercial side. And likewise, in the
25 Public Works domain, if a street is torn up for any reason,

1 installing conduit at the time that it is torn up is greatly
2 cheaper than having to specially tear up for installing
3 conduit, and so the cost factor is just enormous, five to 10
4 times difference between doing it once, at the time of the
5 major construction project, whether new or remodeled, vs.
6 going in especially just to do EV infrastructure. If you
7 were to cost this out over a period of years, it would be, I
8 am sure, tens of millions or hundreds of millions of
9 dollars, the difference. So we see the effort to promote
10 EV-friendly Building Codes and EV-friendly Public Works
11 Guidelines as an enormous return on investment for the
12 State. It is not terribly costly, but it does involve some
13 significant work. Unfortunately, as you know, Building
14 Codes, every city has their own, there is no way to impose -
15 you can suggest some state guidelines, there are some
16 efforts going on now that are very important at the State
17 level to propose model Green Building Guidelines that are EV
18 aware, but actually driving those to adoption in local
19 jurisdictions requires action by City Councils and Planning
20 and Building Departments, one by one. So having regional
21 liaisons or regional project managers for this effort is
22 just critical, it is not going to happen without that. It
23 is a matter of some small number, or single digit number of
24 FTEs around the state, presumably based in - they could be
25 based in a number of type of institutions, whether utilities

1 or regional consortia, or COGs, or MPOs, transit
2 authorities, there are a variety of entities that may step
3 forward to host these kinds of EV friendly policy and
4 project managers, if you will. But organizing that effort,
5 defining it, getting it moving, all extremely critical, and
6 huge ROI for the State. So we would hope that the
7 Commission would look kindly on resourcing that kind of
8 effort in a timely way because I think the benefits here are
9 huge.

10 And finally, developing a jointly funded public-
11 private vendor neutral "Go EV" campaign, I think, is just
12 kind of an obvious thing. We are very pleased to see two
13 and a half million or so in that plan to begin that effort.
14 We are spending a lot on "Flex Your Power," which is great,
15 and I understand it has had great results, there are spare
16 the air days here in the Bay Area, Air Quality Management
17 District, and I suspect other AQMDs, these are all possible
18 co-bargaining opportunities with the huge GHG benefit, the
19 EV has seen as an investment in clean air, also the "Breath
20 California" and related efforts all have some resources that
21 are devoted to this effort, and we would like to see some of
22 those stakeholders brought together to plan how we can
23 synergize, including with the auto companies, of course. I
24 think "Go EV" is a concept that would be embraced by
25 multiple auto makers, as an effort that raises the level for

1 all the layers.

2 I would just mention who has already come to the
3 table for "Ready Set Charge California," and this is still
4 an ongoing formative effort, and more partners will be
5 joining, we have had a tremendous response from a number of
6 jurisdictions, notably in the L.A. area, the San Francisco
7 Area, Sacramento area, among utilities, the major utilities
8 have all been at the table to provide their input and
9 endorse this effort, it includes PG&E, SCE, SDG&E, LADWP,
10 and SMUD. As I mentioned, on the OEM side, GM, Nissan, BMW,
11 e-Tec, Coulomb, have all participated in this effort. And
12 among EV consortia and NGOs, we have had Bay Area EV
13 Corridor Project, Center for Sustainable Energy, Cal ETC,
14 and others. And we look forward to adding additional
15 partners as we go forward. But I think there has been
16 general agreement already that close coordination
17 stakeholders on a statewide basis is very appropriate, and
18 we had hoped to have CEC staff sort of at the table for
19 these, but I understand that because a number of partners
20 had pending awards or grants into you, that was problematic,
21 but we would like to somehow get over that hurdle and have
22 this really be a fully collaborative effort in terms of
23 strategies, measures, and so forth, and not just a grant
24 submission, if you will. We see this as a means for a
25 coordinated effort to address these installation and

1 infrastructure related challenges. So we would like to do
2 it with staff, kind of at the ground floor. I think that is
3 enough for the moment. I really appreciate - we have gotten
4 positive feedback from staff and Commissioners, and we would
5 just like to more fully integrate with you as we go forward,
6 and hopefully help to get some access to resources for some
7 of these hallowed efforts in the regions around the state.
8 Thank you very much.

9 MS. BAROODY: Thank you.

10 MR. WARD: Thank you, Richard. We will take you
11 up on that, I think.

12 MS. BAROODY: Well, are there any further
13 comments?

14 MR. MARGOLIS: Shall I unmute them one more time?

15 MS. BAROODY: Yeah, let's go to the WebEx.

16 MR. MARGOLIS: WebEx is unmuted. Does anyone have
17 any additional statements?

18 MS. BAROODY: No, I do not think so. Okay, well,
19 if there are no further comments, I think we are done for
20 the day.

21 MR. WARD: We would like to thank you all for
22 coming and for all those that are on the phone, as well. We
23 appreciate your input. And we will be convening these
24 workshops again, or maybe one more public meeting before we
25 adopt our Investment Plan, but I would really like to

1 encourage you to use our docket and to correspond with us at
2 every opportunity. We need to hear from you. We understand
3 that need and we take it seriously. Thank you again for all
4 taking the time today to come and join us and we look
5 forward to the next opportunity. Thank you.

6 (Whereupon, at 10:50 a.m., the workshop was adjourned.)

7

-o0o-

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25


REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a notary public and certified electronic court reporter, and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF,

I have hereunto set my hand this 1st day of June, 2010.

A handwritten signature in black ink, appearing to read 'Tahsha Sanbrailo', is written over a horizontal line.

TAHSHA SANBRAILO
CER**D-482
Commission #1775172