

DOCKETED	
Docket Number:	24-IEPR-01
Project Title:	General Scope
TN #:	262372
Document Title:	012425 - IEPR COMMISSIONER WORKSHOP ON REGIONAL ELECTRICITY MARKETS AND COORDINATION
Description:	IEPR COMMISSIONER WORKSHOP ON REGIONAL ELECTRICITY MARKETS AND COORDINATION
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	3/26/2025 8:15:06 AM
Docketed Date:	3/26/2025

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of:

2024 Integrated Energy Policy)
Report Update) Docket No. 24-IEPR-01
(2024 IEPR Update))
) re: Regional Electricity
) Markets and Coordination
)

IEPR COMMISSIONER WORKSHOP ON REGIONAL ELECTRICITY
MARKETS AND COORDINATION

IN-PERSON AT:
CNRA HEADQUARTERS BUILDING
FIRST FLOOR AUDITORIUM
715 P STREET
SACRAMENTO, CALIFORNIA 95814

REMOTE ACCESS VIA ZOOM

FRIDAY, JANUARY 24, 2025

9:00 A.M.

Reported by:

Martha Nelson

APPEARANCESCOMMISSIONERS

Siva Gunda, Vice Chair, CEC - IN PERSON

J. Andrew McAllister, Commissioner, CEC - IN PERSON

Elliot Mainzer, President/CEO, California ISO - IN PERSON

Liane Randolph, Chair, CARB

Alice Reynolds, President, CPUC - IN PERSON

Darcie L. Houck, Commissioner, CPUC - IN PERSON

Karen Douglas, Commissioner, CPUC

CEC STAFF

Sandra Nakagawa, Director, IEPR

PUBLIC ADVISOR

Mona Badie

MODERATORS

Jake McDermott, Western Interconnection Lead, CEC

Carl Linvill, Principal, Regulatory Assistance Project

Julie Halligan, Manager Electricity Planning and Policy,
California Public Advocates Office, CPUC

Jim Shetler, General Manager, Balancing Authority of
Northern California

APPEARANCESPRESENTERS

Letha Tawney, Commissioner, Oregon Public Utility
Commission

Kevin Thompson, Chair, Arizona Corporation Commission

Pat O'Connell, Chair, New Mexico Public Regulation
Commission

Milt Doumit, Commissioner, Washington Utilities and
Transportation Commission

Marc Joseph, Attorney, California State Association of
Electrical Workers, Coalition of California Utility
Employees

Mark Specht, Western States Energy Manager, Union of
Concerned Scientists

Mark Padilla, Manager of Emerging Markets and Energy
Settlements, Los Angeles Department of Water and Power

Randy Howard, General Manager, Northern California Power
Agency

Jeff Nelson, Director FERC Rates and Market Integration,
Southern California Edison

Evelyn Kahl, General Counsel and Chief Policy Officer,
California Community Choice Association

John Tsoukalis, Principal, Brattle Group

Michael Wara, Director Climate and Energy Policy Program,
Stanford University

PUBLIC COMMENT

Meghan Loper, on behalf of Kathleen Stakeholders of
Western Freedom

APPEARANCESPUBLIC COMMENT (cont'd)

Nancy Rader, California Wind Energy Association

Fred Heutte, Northwest Energy Coalition

Michael Colvin, Environmental Defense Fund

Brett Garrett

Scott Ranzal, Pacific Gas and Electric Company

INDEX		<u>PAGE</u>
Welcome & Logistics Sandra Nakagawa, CEC		8
Opening Remarks Siva Gunda, Vice Chair, CEC J. Andrew McAllister, Commissioner, CEC Elliot Mainzer, President/CEO, California ISO Alice Reynolds, President, CPUC Darcie L. Houck, Commissioner, CPUC Karen Douglas, Commissioner, CPUC Liane Randolph, Chair, CARB		9
1. Western Energy Markets Jake McDermott, Western Interconnection Lead, CEC		19
2. Introduction to Pathways Carl Linvill, Principal, Regulatory Assistance Project (RAP)		32
3. Western Regulator Perspectives Facilitator: Carl Linvill, Principal, Regulatory Assistance Project (RAP) A. Letha Tawney, Commissioner, Oregon Public Utility Commission B. Kevin Thompson, Chair, Arizona Corporation Commission C. Pat O'Connell, Chair, New Mexico Public Regulation Commission D. Milt Doumit, Commissioner, Washington Utilities and Transportation Commission		46
Remarks/questions from the dais		72
Q&A from workshop attendees Moderated by Jake McDermott		83

INDEX		<u>PAGE</u>
4. Finding Common Ground: Diverse Stakeholder Perspectives		87
Facilitator: Julie Halligan, Manager Electricity Planning and Policy, California Public Advocates Office, CPUC		
A. Marc Joseph, Attorney, California State Association of Electrical Workers, Coalition of California Utility Employees		
B. Mark Specht, Western States Energy Manager, Union of Concerned Scientists (UCS)		
C. Mark Padilla, Manager of Emerging Markets and Energy Settlements, Los Angeles Department of Water and Power (LADWP)		
Remarks/questions from the dais		105
Q&A from workshop attendees		108
Moderated by Jake McDermott		
Welcome Back		113
Sandra Nakagawa, CEC		
5. Market Participant Roundtable		115
Facilitator: Jim Shetler, General Manager, Balancing Authority of Northern California (BANC)		
A. Randy Howard, General Manager, Northern California Power Agency (NCPA)		
B. Jeff Nelson, Director FERC Rates and Market Integration, Southern California Edison (SCE)		
C. Evelyn Kahl, General Counsel and Chief Policy Officer, California Community Choice Association (CalCCA)		
Remarks/questions from the dais		140

INDEX	<u>PAGE</u>
Q&A from workshop attendees Moderated by Jake McDermott	147
6. Assessing the Benefits of Pathways for California Facilitator: Jake McDermott, Western Interconnection Lead, CEC A. John Tsoukalis, Principal, Brattle Group B. Michael Wara, Director Climate and Energy Policy Program, Stanford University	151
Remarks/questions from the dais	186
Q&A from workshop attendees Moderated by Jake McDermott	202
Public Comments	209
Closing Remarks	224
Adjournment	225

P R O C E E D I N G S

9:01 a.m.

FRIDAY, JANUARY 24, 2025

MS. NAKAGAWA: Thank you for joining today's Integrated Energy Policy Report, or IEPR, Commissioner Workshop on Regional Electricity Markets and Coordination. I'm Sandra Nakagawa, Director of the IEPR at the CEC. This workshop is being held as part of the CEC's proceeding on the 2024 IEPR update. Today, we're doing a hybrid workshop, meeting in person and via Zoom.

For those of you in-person, restrooms and water refilling stations are available just outside the auditorium if you turn to your right.

This workshop is being recorded and recording will be linked to on the CEC website shortly after the workshop. To follow along, the schedule and slide decks have been docketed and posted on the CEC's IEPR website. There will also be opportunities for the audience to ask questions of presenters.

We'll have a few minutes after each presentation to take audience questions, but be advised that we might not have time to answer all questions that are submitted. The way we do questions is through the Zoom Q&A feature. We ask that in-person attendees who would like to submit questions log into Zoom and use that Q&A feature via Zoom

1 if they are able to. In-person attendees need to keep
2 their device volume at zero to avoid audio feedback. Also,
3 for audience Q&A, you can upvote a question and that will
4 bring it to the top of the queue. Those with the most
5 votes are moved to the top.

6 For those in-person attendees who cannot access
7 Zoom, please write your questions on the card, which can be
8 found at the back table when you enter the auditorium, and
9 bring them up to me so that I can read them at the
10 appropriate time.

11 Attendees can also make public comment at the end
12 of this workshop today. Please note that we will not be
13 able to respond to public comments, and those are limited
14 to a maximum of three minutes per person, with one person
15 allowed to comment per organization.

16 Finally, written comments are also welcome, and
17 instructions on how to provide those can be found in the
18 workshop notice. Written comments are due by 5:00 p.m. on
19 February 7th.

20 We're now going to turn it over to Vice Chair
21 Gunda for opening remarks.

22 VICE CHAIR GUNDA: Thank you, Sandra, and thank
23 you everybody for your presence today. It's our first
24 workshop of the year, IEPR workshop. Looking forward to a
25 good conversation today.

1 As many of you know, the Energy Commission, as
2 the state's energy office, typically what it's called in
3 other states, has a unique and important role within the
4 state to set the table for, oftentimes, conversations that
5 are truly unlimited in terms of making sure they're not
6 constrained by regulatory forums and have a conversation
7 that allows for ideation of policies in California.

8 So I'm joined by Commissioners both from the
9 Energy Commission, the PUC, the chair of the California
10 Resources Board, and also the leadership from CAISO.

11 We also have regulators from the West joining us
12 today to listen in and provide their comments, and we have
13 many of the stakeholders who have been integral to the
14 development of the markets and progress in the West here
15 and online to both listen and provide their insights.

16 I'm also honored to see one of my friends and
17 colleagues in the front row here, former President Marybel
18 Batjer. Thanks for being here.

19 So with that, I would like to begin these opening
20 remarks with Commissioner McAllister.

21 COMMISSIONER MCALLISTER: Thanks, Vice Chair
22 Gunda. I really appreciate your leadership on this and the
23 IEPR platform. I think it's really important, particularly
24 sort of early in the year, early in the legislative
25 session, and to sort of to begin to socialize some of the

1 conversations that have been having, the status report
2 about where the Western conversation is on electricity
3 markets. So really great opportunity to kick off a comment
4 period and sort of get the broader conversation going and
5 allow for some public input.

6 I really just appreciate all the staff who have
7 put it together, Jane, in your office, David Erne and the
8 whole team. Sandra, thanks for helping us out today and
9 keeping things moving. And just thanks to our colleagues
10 on the dais and those who will be presenting.

11 Really, this is a big team effort from, you know,
12 California entities, but also, you know, really a lot of
13 great input from across the West, from our colleagues,
14 largely at public service commissions across the other
15 states. So a great day to sort of take stock and get some
16 expert input, present some analysis, and really start to
17 dig into the issues so that we can have a really well-
18 informed conversation moving forward.

19 So really looking forward to today and getting
20 into some substance. Thanks.

21 VICE CHAIR GUNDA: Thank you, Commissioner
22 McAllister.

23 We'll go to President Mainzer.

24 PRESIDENT MAINZER: Well, thank you, Vice Chair.

25 Well, good morning, everyone. I really, really

1 appreciate the opportunity to participate in today's
2 workshop. And I wanted to start by acknowledging the
3 spirit of collaboration and partnership that has brought us
4 to this gathering today.

5 And I'd like to really thank Vice Chair Gunda,
6 President Reynolds, the other members of the California
7 regulatory community, and regulators across the West who
8 really reached out across state borders to help establish
9 the Pathways Initiative.

10 I'd also like to just acknowledge really the
11 amazing coalition of folks drawn from the investor-owned
12 community, public power, our marketing administrations, the
13 CCAs, labor, consumer advocates, independent power, clean
14 tech, large commercial and industrial customers,
15 environmental advocacy and environmental justice
16 communities, academia and technology service providers
17 who've just worked so hard to help advance the Step 1 and
18 Step 2 Pathways proposals in an effort to preserve and
19 enhance the value of wide area market coordination.

20 At the CAISO, we will continue to provide
21 technical assistance to the Pathways Initiative and
22 certainly stand ready to assist the California legislature
23 as needed. And in the meantime, we are going to stay
24 absolutely laser-focused on continued administration of the
25 Western Energy Imbalance Market and implementation of the

1 extended day-ahead market with our committed and future
2 market participants to further enhance reliability and
3 affordability and environmental sustainability, which are
4 really so important to electricity customers across the
5 West.

6 So thanks again, also, to all the staff who
7 worked so hard to prepare for today's gathering and looking
8 forward to the conversation. Thank you.

9 VICE CHAIR GUNDA: Thank you, President Mainzer.
10 I'm going to go online real quick, if Chair
11 Randolph would like to comment?

12 CHAIR RANDOLPH: Good morning, everyone, and glad
13 to be here for this conversation today.

14 In 2022, the California Air Resources Board
15 adopted its latest update to the state's Climate Change
16 Scoping Plan to achieve carbon neutrality by 2045, and that
17 plan makes absolutely clear that a clean, reliable
18 electricity grid is essential to California's transition.

19 Moving more transportation, industrial, and
20 building technologies to electric options is going to
21 really increase demand, requiring a commensurate increase
22 in clean electricity generation. Between now and 2045, the
23 electricity sector will need to see sustained build rates
24 of renewable resources, zero-carbon technologies, grid
25 integration solutions, energy storage, other innovative

1 approaches.

2 This transformation will drive investments in a
3 large fleet of generation and storage resources, but of
4 course will also require significant transmission to
5 accommodate these new capacity additions. Collaboration
6 across California and the rest of the WECC will be critical
7 to that success. CARB is committed to continuing its long
8 history of collaboration with CAISO and the energy agencies
9 on issues related to regional energy planning and related
10 GHG accounting issues and expects that need for
11 collaboration to really deepen as CAISO's current and
12 planned markets expand and as these new governance
13 strategies emerge.

14 So CARB will also continue to work with other
15 Western states as they develop their clean energy and GHG
16 reduction programs. And so I'm really looking forward to
17 learning more about the Pathways Initiative and its
18 potential to support California's needs and the needs of
19 other states throughout the West. I'm really eager to hear
20 the presentation and discussion today, knowing that this
21 inclusive process will help deliver the clean energy we
22 need to achieve our goals.

23 So looking forward to today and thank you for
24 having me.

25 VICE CHAIR GUNDA: Thank you, Chair Randolph.

1 It's always wonderful to have you in these conversations.

2 I see Commissioner Douglas from PUC.

3 COMMISSIONER DOUGLAS: Thank you. Yes, thank you
4 so much, Commissioner Gunda. And it's a real pleasure to
5 be here today. And I'm very much, also, looking forward to
6 today's conversations on this very important topic for
7 California and for the West. Thanks again.

8 VICE CHAIR GUNDA: Thank you, Commissioner
9 Douglas.

10 So before I go to the next part of the opening
11 comments to President Reynolds, I just wanted to take a
12 minute and just thank her for her extraordinary leadership
13 over the last 18 months in helping bridge a number of
14 conversations and really bringing the public interest both
15 for California consumers but for the rest of the West, you
16 know, centered in all the conversations.

17 So with that, I look to President Reynolds for
18 her opening comments.

19 PRESIDENT REYNOLDS: Thank you, Vice Chair. And
20 it really is a pleasure to be here today. I want to start
21 by thanking the CEC for taking the administrative laboring
22 order who are here, really a wonderful job in putting
23 together this event.

24 But also as President Mainzer recognized that
25 it's not just the members of the dais here, and I'll say

1 that it's an honor to be joined by the other members of the
2 dais, but it's such a broad group of stakeholders that
3 brought us here today and really set the stage for the
4 issues that we're going to be talking about. And that
5 broader group of stakeholders, I think, is the one that
6 will take us forward to the next steps in this process.

7 The other point is that we really are at a time
8 now, I think everybody recognizes this, where there's a lot
9 of polarization throughout our country. And I want to
10 express gratitude, too, for being here today and talking
11 about our shared goals. Through this process, we've
12 recognized that we have shared goals in a reliable grid, a
13 grid that works for customers throughout the West, and that
14 we're all connected.

15 And when the regulators got together, a small
16 group of regulators in the West got together a little over
17 a year ago, and started talking about the investments that
18 our regulated utilities had already made in the CAISO, and
19 the progress and the evolution of the CAISO board moving
20 towards the EIM board and shared governance, and recognized
21 that we all wanted the same thing. We all wanted to
22 protect our customers and keep rates low, and we all wanted
23 the reliability that comes from a broader footprint of
24 resources. We all wanted to get through extreme events
25 that we were all experiencing with a grid that we could

1 rely on and that would work for the people of our states.

2 And so once we established that foundation, it
3 was a lot easier to talk about, well, how do we get there?
4 How do we get to a CAISO Board where we didn't want to give
5 up the public interest focus of the CAISO Board? That
6 wasn't the point of talking about an independent entity,
7 but we wanted to carry forward that public interest to a
8 board that recognized the protections that are needed of
9 the public throughout the West.

10 So what we've seen in the continuing
11 conversations and the work of the Launch Committee and the
12 creation of the Pathways Initiative, the successful
13 launching of Step 1 and the creation of a proposal for Step
14 2, really continues to reflect that foundational belief
15 that we can achieve greater benefits for customers
16 throughout the West in our shared connected grid through
17 greater collaboration, through greater sharing of
18 resources, and through working together.

19 So I just wanted to reflect on those points as we
20 move forward into the discussion today. I'm really looking
21 forward to hearing from experts and hearing more about some
22 of the impacts and thinking about what our future might
23 look like for California and for all of the states in the
24 West, so thank you very much.

25 VICE CHAIR GUNDA: Thank you, President Reynolds,

1 for framing kind of the journey over the last 18 months
2 that we've had in this new effort.

3 I want to just note that Commissioner Houck from
4 CPUC will join us later today. She wanted me to inform
5 that she really wants to be a part of the conversation
6 today.

7 So as we kind of move into the day, I just wanted
8 to close off the remarks from the dais here. Again, I
9 cannot say better than what President Reynolds, President
10 Mainzer, Chair Randolph, and Commissioner McAlister have
11 already said, but I think I just want to note a couple of
12 pieces from my observation over the last 18 months.

13 And again, as President Reynolds mentioned, it
14 was 18 months ago a small group of regulators met in
15 Portland to just think through, you know, how do we set the
16 table for maximizing the benefits for the consumers in the
17 West, and understanding both our shared aspirations,
18 setting a table where people can talk about things that
19 they're concerned about in working with each other, and
20 also thinking through the concerns and doubts that they
21 might have in each other, and really investing the time
22 necessary for building trust for communication?

23 If there's anything I've observed over the 18
24 months is just the power of communication and power of
25 togetherness. We've all started with the problem

1 statement. We've started with concerns we have in fully
2 trusting each other's, you know, goals and how to work
3 together. But I have -- and I can note every single person
4 in this room, I see a number of colleagues I want to call
5 out by name, but to just -- you know, each one of the
6 colleagues over the last 18 months I got a privilege to
7 work with have showed up with clarity of purpose, clarity
8 of communication, a clear sense of togetherness, and a
9 hundred percent determination in building the trust in the
10 West, understanding that no one's alone here, and we all
11 need each other to get the maximal benefits for each one of
12 us.

13 So I'm really thrilled and privileged to have
14 been part of that conversation and look forward to really,
15 as the Energy Commission, set the table today to get
16 updates. I would love to hear all perspectives so we can
17 continue to work through collectively in the West for the
18 benefit of the West.

19 So with that, I will pass it back to Sandra.

20 MS. NAKAGAWA: We're going to go to Jake
21 McDermott for our first presentation on Western energy
22 markets.

23 MR. MCDERMOTT: Thank you all for joining us
24 today. My name is Jake McDermott, and I'm the Western
25 Interconnection Lead for the Energy Assessments Division at

1 the California Energy Commission.

2 As many of you know, the Energy Commission is the
3 state's primary energy planning and policy institution.
4 Part of our role is to create a forum for public discourse
5 around prospective policy developments.

6 Today's workshop is a successor to the December
7 2nd, 2022 IEPR workshop on Western electricity system
8 integration. That workshop featured discussions around the
9 role of markets, transmission, and research adequacy,
10 particularly when thinking about regional grid cooperation.
11 Recordings of that workshop are online, as is a 20-page
12 summary document.

13 Since that workshop, Western regulators issued a
14 joint letter in 2023 and highlighted their collective
15 interest in the creation of a regional wholesale market
16 footprint for electricity customers. The regulators were
17 explicit in their call for a footprint that includes all
18 states in the Western Interconnection, including
19 California, and does so to maximize the benefits of
20 electricity markets across the West. This letter forms the
21 basis of what's now called the Pathways Initiative.

22 At the conclusion of my slide deck, I'll turn the
23 mic over to Carl Linvill next to me, who will provide a
24 longer introduction to the Pathways Initiative.

25 Given the importance of recent developments in

1 this space, the Energy Commission is hosting this workshop
2 to serve as that public facilitator and to bring together
3 stakeholders who are working on these issues. This
4 workshop is a forum to examine the potential benefits and
5 risks of Pathways for California.

6 Before we dive into these recent developments, my
7 presentation will serve as a primer for the rest of the
8 workshop.

9 With that, next slide, please.

10 Let's talk about key topics for this
11 presentation. The visual on the right tells us not only
12 the focus of today's workshop, markets and governance, but
13 serves as a narrative guide to understanding the contours
14 of how we arrived here. We're going to talk through a
15 number of Western trends, including load growth.

16 Increasing demand for energy necessarily means
17 the grid must maintain more and more supplies of capacity
18 to meet demands. Resource adequacy, especially in
19 California, is a way to incentivize building new capacity.
20 It is part and parcel how to think about responding to load
21 growth.

22 Markets are an excellent way to organize the
23 operations of an electric grid. I'll discuss the Western
24 Energy Imbalance Market in addition to some of the
25 activities on day-ahead markets. Markets fundamentally

1 optimize the usage of a portfolio of power plants, and that
2 means finding the cheapest sources we can run consistent
3 with the various transmission paths available. We won't
4 cover transmission issues in depth today, but they are an
5 important component of this story.

6 Finally, I'll turn to market governance to talk
7 about why governance matters for the creation of markets.

8 Next slide, please.

9 Now, let's walk through some background on the
10 Western electric grid and some major trends.

11 At the federal level, we have the North American
12 Electric Reliability Corporation, or NERC. It's a not-for-
13 profit that develops and enforces reliability standards and
14 annually assesses seasonal and long-term reliability needs.

15 We also have WECC, which is one of the six
16 regional entities that is delegated the authority by NERC
17 to create, monitor, and enforce reliability standards
18 throughout the Western Interconnection. WECC collects and
19 compiles data from all 38 balancing authorities and uses
20 that to produce the Western assessment of reliability.

21 There's a map here on the left of the four major
22 interconnections, and in blue, you'll see the Western
23 Interconnection.

24 This past December, NERC issued their long-term
25 reliability assessment. It captured a few important trends

1 that are critical to understand and keep in mind throughout
2 the workshop. The first issue is NERC's assessment that
3 demand forecasts are increasing. At the same time, the
4 West is adding variable resources like solar and wind and
5 is facing the retirements of traditional thermal plants.
6 Some of these demand projections are driven by the
7 electrification of heating, transportation, and some of
8 this load growth is from emerging loads like data centers.

9 This leads into NERC's assessment that in 2029,
10 California faces a potential shortfall of existing
11 transfers. Planned resource additions eliminate those
12 potential shortfalls, but imports from other areas in the
13 West may be needed if resources are not brought online in
14 time.

15 The second and related issue is NERC's
16 acknowledgement that extreme weather can produce
17 geographically large heat waves or deep freeze events that
18 further stress reliable grid operations. NERC marks the
19 California and Mexico subregion as at an elevated risk
20 between 2028 and 2029. Elevated risk is defined as the
21 possibility of a shortfall in those extreme conditions.
22 These emerging risks require that California think through
23 better ways to collectively anticipate and respond to these
24 challenges.

25 Next slide, please.

1 Thinking about our narrative arc from that second
2 slide, we've covered load growth and how that necessitates
3 building more resources. Resource adequacy, or RA, is one
4 way to think about this.

5 In 2004, the California Public Utilities
6 Commission adopted the very first RA Program structure.
7 This was done largely in response to the 2000 and 2001
8 energy crisis. The CPUC has modified the RA Program
9 several times over the last 20 years, most recently through
10 the adoption of a slice of day framework that begins this
11 year with the 2025 compliance year. RA is how the state
12 ensures that we have enough electrical supply to meet
13 demand.

14 The RA Program obligates suppliers, whether that
15 be an investor owned utility, a community choice
16 aggregator, or an energy service provider, to maintain
17 contracted capacity that provides system, local, and
18 flexible RA capacity.

19 While the CPUC administers the RA program for
20 IOUs, CCAs, and ESPs, the Energy Commission is responsible
21 for evaluating the publicly owned utilities on meeting
22 their own RA needs. System RA is a broad capacity
23 requirement for each LSE. That requirement is based on the
24 CEC's load forecast plus a planning reserve margin, or PRM.
25 The CEC's load forecast is based on a one in two peak load,

1 meaning that the actual peak load has about a 50 percent
2 chance of being above or a 50 percent chance of being below
3 the forecast. The PRM serves as a buffer on top of the
4 peak load forecast.

5 And finally, extreme weather events can cause
6 demand to spike and create challenges if the actual demand
7 exceeds the forecast plus PRM. These extreme events can
8 create problems throughout the region along three different
9 dimensions: one, how widespread the event is; two, how long
10 the event lasts; and three, the severity of the event
11 itself. While California can import power, and we
12 typically do that throughout the year, it is challenging to
13 rely on imports during these events when other areas may
14 also experience heightened probabilities of supply
15 shortfalls.

16 This is an ongoing challenge that could be
17 mitigated with increased coordination between balancing
18 areas. Later today, we'll hear from Stanford University on
19 their recent research that looks to replicate this issue.

20 Next slide, please.

21 While California has an RA Program here, it's
22 also important to look at other jurisdictions to see how
23 they're assessing their own RA. Each balancing authority
24 throughout the West maintains independence of their
25 internal approach to RA planning.

1 The Western Resource Adequacy Program, or WRAP,
2 is an extra voluntary layer on top of that that can allow
3 greater resource sharing across the region when needed.
4 WRAP is similar to other Western market activities. It's
5 voluntary, it doesn't supplant individual participants'
6 decision making, and is incremental.

7 WRAP is new relative to California's RA Program,
8 but in a similar vein, its goal is to reduce the risk of
9 shortages for participants. The way WRAP works is that
10 participants can make showings that meet their required
11 share of system capacity. If there are deficits or
12 surpluses, WRAP allows participants to essentially borrow
13 from each other. Imagine the Northwest importing solar
14 from the Southwest when the Southwest is oversupplied
15 during the summer.

16 WRAP is an important part of this picture because
17 California exists within the Western Interconnection, and
18 what happens during extreme West-wide weather events across
19 the region will impact the state. So there's this key
20 ongoing question, how does California best harmonize its RA
21 program with the WRAP and partners across the West?

22 Next slide, please.

23 Next, let's talk quickly about building new
24 resources. I mentioned at the top of this presentation
25 that load growth necessitates resource development. I

1 built this table using data from WECC gathered in December
2 of 2024. The data contains forecasted 2024 and 2025
3 nameplate capacity added to each of the 38 balancing areas
4 in the Western Interconnection. It's based on projects
5 currently under construction.

6 Rather than show each of the 38 balancing
7 authorities, I wanted just to show the top five based on
8 the total incremental capacity added in 2024 and 2025.

9 According to the WECC data, CAISO was forecasted to add
10 about 11 gigawatts of nameplate capacity in 2024 and will
11 add about 5 gigawatts in 2025. This is 38 percent of all
12 incremental capacity in 2024 and about 48 percent of
13 forecasted incremental capacity in 2025.

14 Markets can help reduce risks across a footprint
15 by sharing resources across balancing areas, but on
16 principle, this requires capacity to be built.

17 Essentially, markets can optimize the resources it has
18 available, but that is predicated on having enough capacity
19 built in the first place.

20 Next slide, please.

21 The remainder of my slides touch on markets,
22 which, if you recall, is one of the two main subjects of
23 today's workshop.

24 First, let's talk about the Western Energy
25 Imbalance Market, or WEIM. WEIM is operated by CAISO,

1 which is a distinct function. CAISO is a balancing
2 authority and also a market operator.

3 WEIM began in 2014 and allows balancing
4 authorities outside of the CAISO to participate in a real-
5 time intra-hour market. Before the WEIM, trades were done
6 bilaterally between balancing areas. There was no way to
7 optimize those transfers or utilize available transmission.

8 Nowadays, the WEIM provides better visibility
9 into system needs through the West. It improves
10 reliability by providing an integrated footprint where buy-
11 sell decisions are made on a sub-hourly basis. This larger
12 integrated footprint benefits consumers by finding the
13 cheapest source of generation and optimizing supply and
14 available transmission resources in real time, reducing
15 congestion, and reducing costs to customers.

16 This map is from CAISO's 2024 Q3 Benefits Report.
17 And it's striking to consider that in 2014, the WEIM
18 started with just CAISO and PacifiCorp, and now about 80
19 percent of Western load is participating in this market.

20 Since 2014, CAISO reports that the market has
21 created over \$6 billion in gross benefits, but that doesn't
22 tell the full story. Because the market has added more
23 balancing areas over the last decade, successive annual
24 benefits have continued to increase. For example, CAISO
25 reports that gross benefits between 2014 and 2019, about

1 half of the market's operating life, totaled about \$860
2 million. In 2023 alone, CAISO reports that total gross
3 benefits were about \$1.6 billion. That's an important
4 benchmark.

5 2023 had about twice the gross benefits of the
6 first five years of operation. Part of this is because the
7 benefits continue to scale with increased participation
8 from more load. Additionally, the benefits are derived
9 from utilizing an increasing number of transmission
10 pathways. This transmission optimization is important, as
11 more pathways allow for the market operator to find newer,
12 cheaper ways of servicing demand with the same power
13 plants.

14 Next slide, please.

15 The success of the imbalanced market leads
16 naturally into a conversation about a day-ahead market.
17 CAISO already operates a day-ahead market for its own
18 balancing area. The purpose of a day-ahead market is to
19 collect supply and demand bids a day out from physical
20 deliveries, while the ISO then layers a real-time market on
21 top of that day-ahead market to manage deviations from
22 expected supply and demand. And those deviations are
23 precisely what is meant by an imbalance market. By
24 layering the imbalance market onto the day-ahead market,
25 the market operator can then better schedule and optimize

1 transmission and generation resources.

2 CAISO is actively engaging parties in its
3 extended day-ahead market, or EDAM, stakeholder process.
4 EDAM would allow for participation in the day-ahead market
5 from entities that already voluntarily participate in the
6 real-time market.

7 FERC approved EDAM, and the market is set to go
8 live in 2026. A few participants that buy and sell in WEIM
9 have already received approval from their respective
10 authorities to join EDAM, and a few others are in the
11 process of acquiring the needed approvals.

12 Finally, while CAISO will administer EDAM
13 starting next year, the Southwest Power Pool, or SPP, is
14 developing an additional West-wide market called Markets+.
15 FERC recently conditionally approved SPP's Markets+ tariff.

16 Next slide, please.

17 To recap, I've covered today this story about
18 load growth, the need to build resources, and the
19 optimization of those resources through organized markets.
20 Before I turn it over to Carl for his intro to Pathways, I
21 want to spend a moment on governance and why that is
22 important.

23 Markets do not appear out of thin air. They take
24 time, patience, and trust to develop. Trust is especially
25 important between market operators, suppliers, and LSEs.

1 The experience over the last decade with the EIM shows that
2 it worked precisely because it was incremental. The EIM
3 helped participants smooth out fluctuations in their needs
4 by allowing trades to happen between balancing areas in a
5 coordinated fashion.

6 A day-ahead market is a bit of a different story.
7 A day-ahead market envisions a commitment of resources to
8 the market, both generation capacity and transmission.
9 There are also more potential benefits to be had with a
10 day-ahead market. While a sub-hourly market like the EIM
11 provides value by smoothing out those last-minute trades, a
12 lot of potential value is missed. The value of a day-ahead
13 market lies precisely in its operating timeframe. By
14 looking out a day in advance and collecting demand needs
15 and supply bids, a market operator can optimize the system
16 up front, including transmission, before any physical
17 deliveries of power are due.

18 I mentioned at the top of this presentation that
19 today's workshop is this venue for California to have that
20 public discourse about the potential benefits and risks
21 from this type of market growth, and I'm interested to hear
22 from our on this very topic, both the benefits and the
23 risks.

24 With that, thank you for your time, and I'll pass
25 it to Carl Linvill to take us through an intro to Pathways.

1 MR. LINVILL: Thank you, Jake.

2 Next slide, please.

3 Good morning. It's a pleasure being here. Thank
4 you for inviting me. I am Carl Linvill with the Regulatory
5 Assistance Project. The Regulatory Assistance Project is a
6 501(c)(3) nonpartisan, nonprofit, non-advocacy entity that
7 helps public officials, public staff around the country.
8 It's my pleasure to have been engaged to help the Western
9 Commissioners that have been working on the Pathways
10 Initiative and their staff over the last 18 months.

11 Next slide, please.

12 I just want to say for a moment, give you a brief
13 perspective on where I come from to this conversation.
14 I've been working on market development in one way or
15 another for more than 25 years in the Western United
16 States. It's always been for me about promoting customer
17 benefits and promoting the public interest.

18 I spent some time as a public servant in the
19 state of Nevada, as a staff member, as the advisor and
20 director of the Energy Office in Nevada, advisor to the
21 governor of Nevada, director of the Energy Office in
22 Nevada, as a Utility Commissioner in Nevada. And in the
23 years since, I've spent my time being an advisor to many
24 regulators in the West and around the United States.

25 My observation of the Western Energy Imbalance

1 Market development was one of satisfaction and almost
2 amazement. I watched incipient efforts take off and then
3 fall apart when consensus across a large footprint could
4 not be obtained. And then I saw this brilliant idea of the
5 Western Energy Imbalance Market where a platform was
6 defined and an offer was put out one by one, utility by
7 utility, state by state, you're invited to join if you
8 would like.

9 That process of invitation and optionality led
10 to, as was already mentioned, it started with just
11 PacifiCorp and the California ISO, but one by one,
12 additional entities joined the Western Energy Imbalance
13 Market and benefits grew.

14 I served on the Western Energy Imbalance Market
15 from the seating of the Western EIM governing body until
16 2021. What I learned from my time serving on that body was
17 that there are real benefits for all participants in the
18 Western EIM, that the measurement of those benefits is very
19 conservative, that there are always benefits that are
20 harder to measure, like the ones you're going to hear about
21 today, the reliability benefits, which are very
22 significant.

23 I also learned. One of the practices we had on
24 the governing body was when a new entity joined, we went to
25 the state of that entity and held our meeting in their

1 state for that, for their -- as they were joining, and we
2 heard from them. One of the really interesting things that
3 I learned as I got to know each of these entities and their
4 senior management one by one was this is producing benefits
5 that we did not understand or we were not aware we were
6 going to enjoy.

7 For example, one that really struck me was the
8 process of onboarding to the Western EIM provides/offers
9 the opportunity to put all the resources on a common
10 platform. The transmission resources, the generation
11 resources, all of the resources are now on a common
12 platform in order to accurately operate the market. And
13 what that did was it caused each utility to go through and
14 reassess and recalibrate all of their resources under the
15 standard assumptions of this common platform.

16 And one of the things I learned from these
17 utilities was just that process of recalibrating that gave
18 them a better understanding of their own system, led to
19 optimization within their respective systems, and led to
20 optimization, of course, across the Western EIM footprint
21 that we see in that \$6 billion number that was mentioned
22 earlier.

23 Since that time -- the Pathways Initiative, as
24 was mentioned, started about 18 months ago, initiated by
25 regulators -- it's been my honor to help those public

1 officials to keep track of the Pathways Initiative. This
2 is, you will see, I will walk you through what it is,
3 breathtaking in its scope, complexity, diversity of
4 participation, both regionally and sectorally. And it's a
5 credit to these regulators that they have made an effort to
6 keep up with what's going on, and it's been my honor to
7 help them keep up with what's going on.

8 But my role is not as a formal representative of
9 the Launch Committee of the Pathways Initiative or a formal
10 representative of the regulators. I just want to provide
11 you an overview from this kind of third-party perspective
12 of how things have worked over the last period of time.

13 Next slide, please.

14 So it started with the regulators making a call.

15 Next slide, please.

16 And it's already been mentioned by our members
17 from the dais here, consumers will benefit most from the
18 broadest possible market footprint, which includes
19 California. This is a founding principle of the regulators
20 deciding to work together.

21 It was also recognized in their conversations
22 that independent regional governance will be required to
23 reach the broadest possible footprint, which offers the
24 greatest possible benefits.

25 And it was also recognized as the states

1 compared, these are a very diverse group of states, very
2 different state policies, different priorities, but each
3 state cares that they have the ability to pursue their
4 goals and that joining a market will help them to meet
5 their respective goals and not get in the way.

6 So part of the whole process of coming forward
7 for these regulators was I expect my state's policies to be
8 honored and I honor policies of other states as we build
9 this together.

10 Next slide, please.

11 The Pathways Initiative was launched. The
12 regulators' letter was a catalyzing event, but it was
13 quickly recognized that the regulators themselves could not
14 run this very complicated operation. It would have to be a
15 broad cross-section of stakeholders from around the Western
16 Interconnection who were interested in advancing -- (clears
17 throat) excuse me -- this initiative. So interested
18 stakeholders volunteered, volunteered their time, came
19 forward, and began building this engine, which hopefully
20 leads to the broadest possible benefits for customers and
21 states in the Western Interconnection.

22 The Launch Committee has broad sectoral
23 representation and broad geographic representation.
24 There's a website that's hosted on the Western Interstate
25 Energy Board with the moniker WWGPI, West-Wide Governance

1 Pathway Initiative. If you go there, you can see things
2 like who are these representatives, what stakeholder groups
3 are represented, and who are -- who's the leadership and
4 things like that.

5 So a Launch Committee was formed. There are
6 voting members of the Launch Committee and non-voting
7 members of the Launch Committee. The non-voting members
8 include the state representatives. Regulators include
9 folks like the Consumer Advocate, like the Western Area
10 Power Administration is a non-voting member of the Launch
11 Committee.

12 So you can also see, if you go to that website
13 and look up information about the Launch Committee, that
14 there are a broad cross-section of voting members and non-
15 voting members. You're going to have panels today that
16 represent those non-voting members, a couple of parts of
17 that, so you'll get to know some of those folks today.

18 A broader stakeholder engagement process was
19 established at the same time. It was recognized
20 immediately that this can't happen in a cave, can't happen
21 in a vacuum. There needs to be regular engagement with a
22 broad group of stakeholders in the entire West.

23 And so there's a monthly cadence of a
24 stakeholder meeting. Everyone comes. Everyone has the
25 opportunity to ask questions. There are opportunities for

1 stakeholders to provide comments to the Launch Committee as
2 it develops the structure of this entity.

3 Also, stakeholders were invited as special work
4 groups were needed to be created to take on special
5 initiatives, such as what will the stakeholder process look
6 like in this new entity? Stakeholders, in addition to
7 Launch Committee representatives, were offered the
8 opportunity to participate in those work groups.

9 Next slide, please. Next slide, please.

10 So now I'm transitioning to a set of slides that
11 were prepared by the Launch Committee that describe the
12 current status of the Pathways Initiative. You'll see, if
13 you've looked at this ahead of time, there's a lot of
14 content here. I'm going to do a quick time check on
15 myself. Okay, I have, I think, about 10 minutes to walk
16 you through a lot of information. So I'm not going to tell
17 you everything on every slide. I'm just going to pull out
18 highlights, but I invite you to look at the slides in their
19 entirety at your leisure.

20 So the Launch Committee, again, was started to
21 pursue an independent governance structure that's capable
22 of overseeing an expansive suite of West-wide wholesale
23 electricity markets and related functions based on this set
24 of concepts. Largest footprint possible includes
25 California, independent governance, preserve and build upon

1 the existing California ISO market structures, minimize
2 duplication and occurrence of costs, and consider, over
3 time, movement towards additional services, including
4 perhaps a full regional RTO someday.

5 Next slide, please.

6 Their evaluation criteria as elements of the
7 proposal were considered and brought forward as formal,
8 what we'll call a Step 1 and Step 2 proposal in a moment.

9 These were the evaluation criteria that were used to
10 determine, you know, whether the proposal was a beneficial
11 one. Does it have maximized net benefits? Does it include
12 equitable representation? Does it offer a governance
13 structure that's independent of any single state
14 participant or class of participants? Is it flexible?
15 Does it provide optionality to allow market participants to
16 choose the services they value?

17 For example, if you opt in, you can opt in to the
18 Western Energy Imbalance Market. You can opt in to EDAM as
19 an additional service. Perhaps additional services will be
20 offered. Each of these on the menu of options is an opt-
21 in. You're not getting pulled into something that you
22 haven't consciously chosen to participate in.

23 Preservation of existing balancing authorities'
24 ability to maintain independence and so forth and an
25 implementation timeline, as I said, a respect for state

1 authority is very important.

2 Next slide, please.

3 The Pathways Initiative came over time. The
4 Pathways Launch Committee started working together in about
5 September of 2023. There was no structure. This was a
6 structure that was created from that group over the last 15
7 months or so. It was decided that there would be three
8 steps.

9 Step 1, elevate WEIM and EDAM governing body
10 authority and the governance of the existing California ISO
11 energy markets. That step has been accomplished.

12 Step 2 is the step we're in now, it's underway,
13 transfer governance authority over existing energy markets.
14 When we say energy markets, we mean the real-time market
15 and the day-ahead market from California ISO to a new
16 independent regional entity.

17 And then Step 3 is a little bit further off in
18 the future and not really a very active point of discussion
19 at this point.

20 Next slide, please.

21 So the Step 1 proposal, what is the Step 1
22 proposal?

23 Next slide.

24 Step 1 elevates the WEIM governing body's joint
25 authority to a primary authority. It gives the WEIM, a

1 governing body, an initial decision, the opportunity to
2 make an initial decision on proposals resulting from
3 stakeholder process if they fall within the designated
4 decision-making scope. And it includes dual filings, the
5 unresolved disputes over tariff changes between the WEIM
6 and the ISO board require the ISO to use 205 filing rights
7 to present proposals without preference to FERC for
8 decision, but they also do allow a dual filing by the WEIM
9 governing body.

10 The public interest. Protecting the public
11 interest is central and key to this entire proposal, as
12 you'll see.

13 Next slide, please.

14 So in transitioning from the current
15 responsibilities of the WEIM governing body to these Step 1
16 responsibilities and authorities, it requires a triggering
17 to happen. This slide describes the trigger, basically
18 execution of EDM implementation agreements by utilities
19 representing load equal to or 70 percent of the ISO's load.
20 I understand with an implementation agreement that's
21 happened very recently, in the last day or two, with LADWP
22 joining, it's now at 65 percent.

23 Next slide, please.

24 And I'll apologize that I'm going through this
25 very fast, but we look forward to hearing from our

1 regulators in just a minute on a panel where they can give
2 you their perspective on each of these things.

3 The current status of Step 1 implementation is
4 the tariff was submitted to FERC. There's an outdated
5 number here, 45.4 percent. It's now, as I mentioned, 65
6 percent. And the utilities that have signed implementation
7 agreements or are intending to join is listed here.

8 Next slide, please.

9 So what is Step 2?

10 Next slide.

11 Step 2 expands regional coordination but leaves
12 other California ISO functions untouched. So we're talking
13 here just about energy markets. We're talking about the
14 real-time market and the day-ahead market. There are many
15 functions of the California ISO that would continue under
16 the Board of Governor's authority as they exist today. And
17 they are listed here. Again, for the sake of time, I'm not
18 going to read these, but you can look at them and see what
19 they are.

20 Next slide, please.

21 Independence of the regional organization was a
22 founding principle of this entire effort. Many elements of
23 independence have been baked in to this, excuse me, Step 2
24 proposal. This graphic here describes those different
25 sources of independence, the tariff, organizational

1 independence, staffing independence, and stakeholder
2 process and public interest elements that promote
3 independence. And I invite you to look at these in detail.

4 Next slide, please.

5 This next step, Step 2, will ultimately require
6 the formation of a new regional entity. The regional
7 entity has come to be referred to shorthand as RO. RO
8 formation includes steps like a declaration of a 501(c)(3)
9 nonprofit, incorporation in Delaware, and establishment of
10 a principal place of business, which is still under
11 discussion.

12 Next slide, please.

13 RO governance aspects include an independent
14 seven-member board, no reserved seats, but no restriction
15 on the number of current WEM governing body members that
16 may serve on the RO Board, an RO Board public policy
17 committee to tend to that important issue of state
18 deference and state independence, an open process for
19 meetings and decision making, and the establishment of a
20 collaborative relationship between the RO Board and the
21 California ISO board with joint authority -- or joint
22 meetings for joint authority matters and each board meeting
23 separately for sole authority matters.

24 Next slide, please.

25 The public interest is very important. This will

1 come up in our conversation with the regulators in a
2 moment. Just very basically, two intertwined components of
3 public interest are how customer interests, including
4 affordability and reliability, are safeguarded in a
5 nondiscriminatory market design and in operations. And
6 secondly, how state and local policies, even as they differ
7 across the West, are respected in market design.

8 Next slide, please.

9 There are a number of tools that were developed
10 to promote the public interest. Again, I don't have time
11 to talk through each of these, but the RO structure and
12 board is important. The RO body of state regulators
13 provides a relationship that's important. A consumer
14 advocate organization, the addition of a consumer advocate
15 organization, is an important element.

16 Next slide, please.

17 The new Office of Public Participation to, again,
18 tend to that important relationship between the states and
19 the RO Board ensure that the impact of decisions is
20 understood and evaluated via the RO Board as engagement
21 with the states happens through this Office of Public
22 Participation and with stakeholders, as well.

23 Independent market monitoring functions and a
24 stakeholder process. An enhanced stakeholder process has
25 been designed that I think you'll find is quite interesting

1 and invite you to look into that too.

2 Next slide, please.

3 This describes the elements of the stakeholder
4 process, which I don't have time for, but I think it's a
5 very robust, most likely best-in-class stakeholder process.

6 Next slide, please.

7 So what's next in the journey here? And the
8 journey here next is the creation of a Formation Committee,
9 which will drive things forward. The Formation Committee
10 sets the stage to further develop and implement Step 2 in
11 coordination with the California ISO, the WEM governing
12 body, and stakeholders. You can read more about the
13 Formation Committee here, but the Formation Committee is
14 working now and is setting the stage should the opportunity
15 to undertake Step 2 is effectuated.

16 I think that's my last slide. Yes, it is. Thank
17 you very much.

18 And are we going to move immediately to the
19 panel?

20 MS. NAKAGAWA: That's right. Thank you so much,
21 Carl, for that presentation.

22 We're now going to turn to the Western Regulator
23 Perspectives panel. And Carl is still in the hot seat, but
24 now as facilitator. We're inviting to join on camera
25 Commissioners Tawney and Doumit, as well as Chair O'Connell

1 and Thompson. Thank you so much.

2 MR. LINVILL: Okay, great. Good to see all of
3 you popping in here. So I think as I go to each one of
4 you, I'll want to -- I'll just have -- I'll quickly have
5 you introduce yourselves. I'll call on you.

6 We'll start with Commissioner Tawney. Would you
7 like to introduce yourself briefly?

8 COMMISSIONER TAWNEY: Good morning, everyone, and
9 it's a real privilege to be here working with all of you on
10 these really critical issues. I've served as Commissioner
11 on the Oregon Public Utility Commission since 2018. I've
12 chaired the body of state regulators and served as the BOSR
13 representative on the EIM Governance Review Committee.
14 It's a real delight to be with all of you.

15 MR. LINVILL: Chair Thompson?

16 CHAIR THOMPSON: Well, it's good to see so many
17 friends and colleagues. I know it's been a while since
18 we've all been together. It's always a pleasure to see you
19 all.

20 Kevin Thompson, Chairman of the Arizona
21 Corporation Commission. It's a pleasure to be here today.
22 I'm thankful for everyone and the efforts that they put
23 into this process. This is something that, you know, I
24 know on the Arizona side, a lot of our utilities have
25 already made their decision, which direction they want to

1 go, but I've committed to the BOSR and to the Pathways
2 Group that I'm going to see this one through.

3 And so I'm here today to ensure that I'm helping
4 to see this through. So it's a pleasure. Thank you all
5 again.

6 MR. LINVILL: Thank you, Chair Thompson.
7 Chair O'Connell?

8 CHAIR O'CONNELL: Good morning. I'm Pat
9 O'Connell. I'm the Chair of the New Mexico Public
10 Regulation Commission and happy to be here today, and I'm
11 looking forward to our conversation.

12 MR. LINVILL: And Commissioner Doumit, are you
13 on?

14 MS. NAKAGAWA: He may be a few minutes late.

15 MR. LINVILL: Okay. Okay, great. Well, we'll
16 introduce Commissioner Doumit when he comes.

17 I wanted to start you all off with what brought
18 you -- you're all signatories to that famous letter that
19 we've talked about a few times now on July 14th of 2023.
20 What brought each of you to be motivated to participate in
21 that discussion, sign on to that letter, and stay engaged
22 for this last 16 months?

23 Commissioner Tawney?

24 COMMISSIONER TAWNEY: Thanks so much. So I've
25 been engaged in the market question since I joined the

1 Commission and participated, for example, in the design of
2 the state led market. And the modeling has demonstrated
3 over and over the value proposition to our customers in
4 Oregon, the largest market footprint possible. And that's
5 been borne out then in reality; right? When we are facing
6 a tight grid situation, when we have had facilities go
7 offline unexpectedly, EIM has provided really rapid
8 dispatch and helped manage the price spikes that go with
9 it.

10 The modeling that I continue to see produced
11 continues to elaborate on those values for customers. Most
12 recently, Bonneville Power Administration's modeling for
13 their day-ahead market decision, they demonstrated in their
14 own modeling results \$450 million to \$550 million more in
15 benefits for the Northwest region if they participated with
16 California.

17 And my customers in Oregon are really struggling
18 with energy burden, alongside housing costs pressure. And
19 the opportunity to provide more reliability at a lower cost
20 is critical to manage --

21 MS. NAKAGAWA: Commissioner Tawney?

22 COMMISSIONER TAWNEY: -- (indiscernible).

23 MS. NAKAGAWA: I'm so sorry to interrupt. We are
24 having a little bit of audio issues hearing you. I'm
25 wondering if we might just test that out a bit, if it's

1 possible to use headphones or get a little closer to the
2 mic.

3 COMMISSIONER TAWNEY: Sure. Is this any better?

4 MS. NAKAGAWA: I think that's a bit better.

5 Thank you so much.

6 COMMISSIONER TAWNEY: Apologies. The essential
7 question is, what is the best value for Oregon customers as
8 they grapple with the price pressure of adapting to a
9 changing climate, the cost of wildfire adaptation, for
10 example? And there's so much clear value to Oregon
11 customers in being in a market together with their Western
12 colleagues, that it seems incredibly important to find a
13 way to make that happen in a fair and equitable way.

14 And that's what led me to the letter and to the
15 collaboration with these colleagues across the West.

16 MR. LINVILL: Thank you, Commissioner Tawney.

17 Chair Thompson?

18 CHAIR THOMPSON: Yeah. You know, the previous
19 chairman at the Commission put me on BOSR. And back in
20 January of '23, I believe, is when I was sworn in and into
21 office. And so he immediately put me on BOSR to replace
22 himself. And it was hit the ground running, sink or swim.

23 But as we started talking about, you know, a
24 regional transmission organization in the West, it had
25 occurred to me and from what others had said was this was a

1 discussion that had been, you know, a topic or it's been a
2 topic of discussion for the previous two to three decades.
3 And there was never much, you know, pressure, I guess, put
4 on moving this forward.

5 And so as we started talking through this on the
6 BOSR and we all agreed that this would -- you know, if we
7 could get the Commissioners behind this and really get this
8 Pathways group up and running, it would give us an
9 opportunity to really start having the open conversation
10 about how do we move to an RO or an RTO in the West? And
11 how do we -- how can we take advantage of that bigger
12 footprint, as you had mentioned, Carl, you know, that would
13 be beneficial to all the West? I mean, why would we not
14 want to, you know, send our power during the winter to
15 Oregon and Washington State, Northern California? And why
16 would we not want that cheap access to hydro during the hot
17 summers in Arizona?

18 So, you know, to me, it made sense. I looked at
19 it from a point of view that it would benefit the entire
20 West. If we were to develop a bigger footprint, it would
21 be beneficial to our consumers across not only Arizona but
22 across the West as a whole.

23 And so I was happy to sign on to the letter. I
24 think it was June of '23 when we all signed on the letter
25 and really got this running. And it was, I just saw this

1 as an opportunity really to get the discussion started, see
2 where it goes, see if this is something plausible and if
3 it's something that we can move towards. And man, it's
4 been an exciting run. And I am so happy to see where it's
5 gone and where the future is going to take this.

6 MR. LINVILL: Thank you.

7 Chair O'Connell?

8 CHAIR O'CONNELL: Yeah, thanks. You know,
9 Commissioner Thompson said we signed this letter in June of
10 2023. At that time, I was a relatively new Commissioner.
11 So just to answer that question, it includes a little bit
12 of background.

13 First of all, I'm a regulator in New Mexico. We
14 regulate three investor-owned utilities. Public Service
15 Company of New Mexico and El Paso Electric are in WECC.
16 And then we also regulate Southwest Public Service, which
17 is in Southwest Power Pool. So that's the day job.

18 In addition to my day job, I'm on the WECC Member
19 Advisory Committee. I'm currently the President of the
20 Southwest Power Pool Regional State Committee. And I'm
21 representing the Western Conference of Public Service
22 Commissioners on the current FERC-NARUC collaboration.

23 I think, again, early in my career, and so I was
24 leaning in on the experience I brought to the job, and so
25 prior to becoming a Commissioner, I had spent decades in an

1 electric utility. And then a few years after that as -- in
2 an advocacy organization, I was working across the West.
3 And my background, I'm a civil engineer. So, you know, our
4 job is the things that help all of us live together safely
5 and cheaply. And so as I navigated my career, I gravitated
6 towards electric system planning. And so that's what I
7 brought to it.

8 So if you spent time working in system planning,
9 especially in a utility, then, you know, the idea of
10 maximum consumer benefits, it's the regulator question,
11 and, you know, affordable, reliable, for New Mexico, it
12 also means clean. So affordable, you know, lowest
13 reasonable cost, reliable.

14 One of the things you learn by working in the
15 planning world is that just, especially electricity, it's
16 least cost if we can share. So sharing, what does that
17 mean? Things like coordination, especially during extreme
18 weather events, means the ability to build interstate
19 transmission. Then clean, not only does New Mexico got
20 policies that point us in that direction, as a state, we
21 are the only one that's top ten in least cost wind and
22 least cost solar.

23 So when you combine those two together, we have
24 internally a fantastic opportunity to pursue this
25 decarbonization goal using resources within New Mexico.

1 But our load within the state is very small compared to the
2 potential of development of these resources. So I know,
3 for example, New Mexico has a lot to contribute to
4 California in terms of providing low-cost wind resources
5 that are diverse across the region.

6 So all of those things were in my head when we
7 gathered together and started talking about how can we
8 create the broadest possible footprint for regional
9 coordination? And that immediately made sense to me, that
10 that is something worth pursuing.

11 So at the time we issued the letter, you know,
12 the whole governance question of how can we bring together
13 all of the states in a coordinated fashion was a barrier.
14 So it appealed to me the idea that, hey, maybe we can
15 pursue this regional organization in a way that everybody
16 can join, and so that was compelling.

17 Also at that time, the utilities were working on
18 their WMIC (phonetic) study and that was being pursued
19 privately by that group. And, you know, just my experience
20 working in a utility, I was worried that utilities would
21 look at this whole how do we pursue better coordination by
22 defining the problem narrowly. You know, if they define
23 benefits as only benefits that the utility could achieve,
24 or even if they were just thinking about their own
25 customers and not everybody else, they were going to miss

1 out on the potential that a state like New Mexico has to
2 offer to the region.

3 So, you know, just the idea that as a
4 Commissioner, what can I do to influence this conversation,
5 get out there with a letter that tells people, hey, while
6 you're making these choices, there's another voice out
7 there who is your utility regulator, and I'm going to be
8 looking at it this way. So I thought there was value in
9 putting my name to that document.

10 And then as Commissioner Tawney and Carl and
11 Kevin have all already described, so far, where it has gone
12 has exceeded my expectations when I signed the letter.

13 MR. LINVILL: Thank you, Chair O'Connell.

14 Commissioner Doumit, welcome. I'm glad to have
15 you.

16 So each of us did a very brief just who we are
17 and where we sit. So I'll have you do that, and then
18 answer the question, what brought you to sign on to that
19 letter?

20 COMMISSIONER DOUMIT: Sure. Thanks, Carl.
21 Certainly, yeah.

22 I'm Milt Doumit from Washington State. I've been
23 on the Commission nearly two and a half years now. And
24 this is one of the first big issues that I looked at, I
25 guess, when I got on the Commission, that it was really

1 being sort of talked about. And I remember back in 2023
2 when I was looking at the studies that showed all this
3 California solar that was being curtailed and was
4 available, you know, in the West and I knew, you know, we
5 were doing Washington in terms of long duration storage
6 ideas as well. I thought this seems to be a really natural
7 fit. Why is there a concern about this West-wide market in
8 Iowa? I just thought this makes intuitive sense, you know?

9 And then I went and talked to our IOUs and I sat
10 in some Bonneville meetings. And among other reasons, the
11 prominent reason was this concern about California-centric
12 governance. So, okay, I would like to be involved in this
13 governance idea. Maybe that will take, you know, that
14 factor sort of off the table.

15 At the time though, California was just failing
16 to pass legislation. It looked like this was going to be a
17 dead issue and that, you know, the status quo would be an
18 EDAM to SPP, but our California colleagues came up and
19 heard this from others, and kind of last pitch, bottom of
20 the ninth, I think, you know, calling me and said, hey,
21 what if we vision with us, you know, this idea of an
22 independently-governed regional system that looks after
23 your state's interests, recognizes them and is really
24 motivated by consumer value, okay, and could perhaps evolve
25 into something more? I mean, it's going to take a while.

1 This will be a sort of first step issue.

2 And that just really, you know, resonated. It
3 was a no-brainer at that point for me to sign the letter,
4 say that openly, and to be involved in the Launch
5 Committee, as I was. And we'll talk about it, I think, a
6 little more. You know, and if nothing else, I don't know
7 whether that's -- and we have never, sort of we at the
8 Commission, or I guess speaking for me and Randall as well
9 as Dave now who is retired, pushed to anyone, you know, to
10 make a choice. But what I certainly try to do is help the
11 West-wide market become a good, you know, option, really.

12 So if nothing else, we'll have made both markets
13 stronger, so easy call to sign up and easy call to
14 participate. So that's my story. Thanks.

15 MR. LINVILL: Yeah. Great. Thanks. Thanks,
16 Commissioner Doumit.

17 So the next, you know, big decision, big step for
18 this group and their colleagues was, well, how do we get
19 this thing rolling? I mean, how do we? How does this idea
20 of creating a broader market with independent governance,
21 how do we launch this? How do we get it rolling? As
22 regulators and states, we don't have, you know, the staff
23 or, really, the proper position to push that ourselves. We
24 need stakeholders to opt in to say, this is a good idea, we
25 want this to happen, and we're willing to dedicate our time

1 to building this out.

2 And so there was a handoff, a handoff to a
3 stakeholder committee that came to be called the Launch
4 Committee. Of course, we'll just say, I think all of the
5 regulators thought it was very important that this be a
6 regionally-representative entity, that it be a sectorally-
7 diverse entity, and it is all that. And I think it's been
8 very effective in producing Step 1 proposal and on from
9 there.

10 So I guess what I would invite each of you to
11 talk about now is what has been your observation about the
12 Launch Committee working together to produce these
13 outcomes? And starting with the Step 1 proposal, what's
14 significant to you about the Step 1 proposal? Why is
15 implementing this Step 1 proposal an important incremental
16 step forward in this project?

17 And, Commissioner Tawney, would you like to start
18 again, or do you want me to mix it up? I can't hear you.

19 COMMISSIONER TAWNEY: Is this better audio?

20 MR. LINVILL: Yes.

21 COMMISSIONER TAWNEY: Wonderful. I apologize for
22 earlier.

23 So I think there's two important differentiating
24 factors around this market conversation. The first is, in
25 the U.S., the market conversation has been utility driven.

1 They've been market-participant driven. And the entities
2 that run markets, market administrators, are really
3 striving for a balancing act between public interest and
4 their market participants which, you know, it created.

5 The CAISO is very different. And you see it in
6 the ethos, how the CAISO operates, the role that CAISO has
7 played in the California policy landscape. The people are
8 the child of statute and the public interest is rooted at
9 the core of what CAISO does. And that is a very different
10 origin story than the other RTOs in the U.S.

11 That public interest-centric perspective has been
12 very powerful. And I think what's been at the core of the
13 regulator letter and then the Pathways Initiative, how do
14 you take that statutory mandate for -- which is, because
15 it's in a single-state statute centered in a single state,
16 carry that out to a regional mandate? As regulators, as
17 Chair O'Connell pointed out, that's the core of our work,
18 is that public benefit. And the CAISO has that embedded in
19 their core work. How do you carry that mandate into a
20 nonprofit? And I think that same thing in the Pathways
21 Initiative has been critical. And you see that in how --
22 the protections that are created in Step 1.

23 The second differentiating factor I point to here
24 in this initiative is how broad the participation is.
25 There is much more transparency, a much broader engagement

1 than there ever has been in a Western initiative by folks
2 who are not utilities, by folks who represent different
3 pieces of the electric sector, different views on the
4 public benefit. I think that brings a real power to the
5 governance structure (phonetic).

6 You know, CAISO is already subject to FERC
7 regulation, but how proposals get carried up to a FERC
8 filing and the way in which public benefit is embedded in
9 those proposals from the root is really different in
10 different RTOs. And I think the Pathways Initiative has
11 really sought to keep the power of the public benefit that
12 CAISO has really sought to maximize and build it into that
13 governance, that Step 1 and 2 proposals.

14 One is a really important trust building exercise
15 across the West, proving to California that they could
16 benefit from a regional market, proving to the rest of the
17 West, California really sees value in regional engagement
18 that we really all do share, as President Reynolds said,
19 focused on reliability and affordability as core to our
20 consumers.

21 I'll leave it at that. Thank you.

22 CHAIR THOMPSON: Yeah, and I, you know, I look at
23 it and, goodness gracious, you know, thankfully we had
24 someone like Kathleen Staks leading the charge. I mean,
25 she was amazing during this process, keeping everyone in

1 check, you know, keeping the momentum moving forward. You
2 know, they had to, really, they had to start from scratch.
3 They had to build a charter. They had to, you know, set
4 boundaries. They had to set rules, put things in place.
5 You know, and it was -- you know, it's almost like watching
6 the framers of the Declaration of Independence, you know,
7 of how do you create something that hasn't existed in the
8 West?

9 And to see the process that they went through,
10 you know, really, you know, building from the ground up and
11 taking, you know, Step 1, which was really, you know, the
12 framework of, you know, ensuring that there's market
13 independence while still allowing CAISO to have its
14 balancing authority, I mean, that was a big deal. And, you
15 know, there was a lot of back and forth between states that
16 didn't want CAISO, you know, in the mix. But, you know, to
17 see at the end of the day where it landed, you know, where
18 CAISO is a partner at the table, is a big deal.

19 And having, you know, the stakeholder group get
20 together, the Launch Committee come together, and really
21 build this framework from the ground up was exciting to
22 watch. And it think it's something that, you know, it's
23 built on a solid foundation. And so I can't wait to see
24 where we move beyond Step 2 as we start getting into Step 3
25 and seeing that process move forward. I think they've done

1 amazing work and I'm eager to see how far they can take it
2 and see this come to fruition. I think it's a good thing
3 for the West.

4 MR. LINVILL: Thanks, Chair Thompson.

5 Chair O'Connell?

6 CHAIR O'CONNELL: Yeah, just to follow on to what
7 Commissioner Thompson just said, for me it was really a
8 proof of concept. You know, the process you described,
9 Carl, you know, we wrote the letter and then realized, hey,
10 we're not an implementation group but a group of
11 Commissioners.

12 So this Launch Committee formed very quickly.
13 They quickly raised their own money. It grew in size. So
14 the idea of, hey, let's pursue the broadest possible
15 footprint was clearly a popular idea. So then, again, as
16 you described, Carl, there have been efforts to create a
17 better regional market several times before across the
18 West. So I'm sitting here thinking, well, are we just the
19 latest déjà vu? You know, have we seen this bull before?

20 But the Launch Committee not only was popular, it
21 proved and gave itself some credibility by creating this
22 Step 1. So the value has already been created.

23 And then, again, as Commissioner Thompson said,
24 getting to the vision of the letter is going to require
25 moving beyond Step 1, but what Step 1 did was show, hey,

1 this is a popular concept, and it is being pushed by folks
2 who are getting stuff done.

3 MR. LINVILL: Thank you.

4 Commissioner Doumit?

5 COMMISSIONER DOUMIT: Yeah, similar, similar
6 words, I think. You know, I'm a lawyer by background and
7 training. And when the idea came up and the letter was
8 signed, it was like it was urgent, like, hey, we can sign
9 and get a contract with you, you know. Let's get this
10 tariff, you know, segmented out. And (indiscernible), you
11 know, they want to see government change up here. Let's
12 get going.

13 Carl, I credit you, actually, and my fellow
14 Commissioners, but particularly you in saying, hang on,
15 this -- we -- you don't understand the history, the trust
16 issue. This has to be built up correctly, properly, you
17 know, as has been mentioned, with a foundation, broad, I
18 believe you said, broad engagement. And, yeah, I just saw
19 that, the reasons for that as this went along.

20 And I've said this before, this group have been
21 around in the government and private sector for a lot of
22 years. I've never seen a group come together with such
23 sort of commitment to the cause, collaboration, hard work,
24 you know, talent, experience. And I was watching this
25 happening, basically watching as the others were, you know,

1 doing on this. I'm just, you know, starting out and kind
2 of watching this unfold, and I think it was just an
3 incredible sort of effort and continues to be.

4 And so I think, as Pat said, you know, they
5 started -- the group started to build its own legitimacy.
6 And as Step 1, that commitment to the project, in turn,
7 bringing commitments back, you know, big ones, important
8 ones, you know, utilities. And so the muscle was being
9 built that allowed the continued work into Step 2, and
10 we'll talk about the Formation Committee, what I know will
11 be continued success there.

12 So really, that trust building, as Letha said,
13 is, you know, it's just infused, I think, in this now. So
14 the benefit of Step 1 is certainly to get that step on
15 paper. The bigger picture for me was just this bunch of
16 folks can get it done and will get it done.

17 MR. LINVILL: Thank you.

18 Commissioner Tawney, are you okay? Are you?

19 COMMISSIONER TAWNEY: I am.

20 MR. LINVILL: Yeah? Okay, great.

21 COMMISSIONER TAWNEY: Thank you.

22 MR. LINVILL: So, yeah, but, so bringing it back,
23 back to you, I want to talk about Step 1. It's an
24 important, as I think Chair O'Connell said, trust building
25 exercise, tangible outcome, tangible improvements that

1 built some additional support for this whole Pathways
2 concept. But Step 1 is an interim place. It's not what's
3 necessary in order to achieve that maximum footprint in the
4 West. And independent governance is a necessary part of
5 getting to that.

6 So if you could talk just for a moment about why
7 Step 1 is useful, but we really needed to move to Step 2,
8 and what in your mind is Step 2 achieving? What is it
9 taking us to?

10 COMMISSIONER TAWNEY: Let me start by saying,
11 where we were in 2023, having been engaged in governance in
12 the CAISO context, having worked really extensively on
13 governance in the Markets+ SPP context, where we were in
14 2023, despite the great efforts of a lot of really
15 dedicated folks, was a world where, because we couldn't
16 figure out how to ensure California customers had the same
17 protections as outside the California customers, that
18 everybody's customers were, were similarly situated vis-a-
19 vis the market, we were kind of towards a world where a lot
20 of value for customers was going to leave the table. And
21 folks were going to move or were weighing their options
22 about shifting.

23 And we see some folks have chosen Markets+, Chair
24 Thompson pointed out, despite the economic modeling. But
25 in 2023, it looked as though California was going to be

1 fairly isolated. And a lot of value as a result for Oregon
2 customers, a lot of its increased cost for Oregon customers
3 was likely to happen.

4 We have to really shift the board, the landscape
5 that we're making decisions on. Because what it does, by
6 moving the decision making to the RO, the California
7 balancing authority becomes the same as all the other
8 balancing authorities in the region and can choose to leave
9 the market. My utilities can choose to leave EIM today if
10 they think that their interests are no longer being served.
11 And that's the case in all RTOs. This conversation happens
12 constantly in RTOs. There's a lot of conversation about
13 flux.

14 California, as a balancing authority, the CAISO
15 as the BA was not in a position to ever leave. Everything
16 was always being done to it, as a regional -- as
17 regionalization was happening.

18 By changing to Step 2, you actually create more
19 protections for California customers because they can
20 choose to leave. Now, I would hope that they never would,
21 that we would find a way through whatever challenges were
22 in front of us because the value to customers is so
23 profound. But that shift, so that all customers are on
24 equal footing as decisions are being made in the market, is
25 central to being able to build that trust, create that

1 foundation to get that value over the long term.

2 I really want California to be in a market with
3 Oregon. That means Oregon customers and California
4 customers need to be on equal footing. That's just how it
5 has to be to have the partnership work and so we have to
6 build that, a step to create the way to build that. It
7 doesn't ever, in any way, say that CAISO failed. CAISO has
8 been profound in their success. But we have to shift how
9 the customers are positioned vis-a-vis the decision making.

10 MR. LINVILL: Thank you.

11 Commissioner -- or Chair Thompson?

12 CHAIR THOMPSON: Yeah, I think, you know, as the,
13 you know, as the Launch Committee moved from Step 1 to Step
14 2, it was a really important transition; right? Because
15 you were going from a framework now to trying to figure out
16 whether you're going 2 or 2.5. You know, are you going,
17 you know, keeping the momentum going, obviously, with Step
18 2? But, you know, are you going with an RO that has the
19 ultimate oversight responsibility or are you going to more
20 of a vendor-type model of oversight responsibility?

21 And I think ultimately, you know, they went, they
22 really were looking at Step 2, which was the more of the
23 vendor, so you have more of a regional council with CAISO,
24 you know, being, I guess, you know, the primary so CAISO
25 has a seat at the table, and then everyone else is kind of

1 regional. And I think that's what really kind of, you
2 know, upset some of the utilities, at least those in
3 Arizona, because they looked at it and said, wait a minute,
4 why does CAISO get to be a stand-alone at the table as a
5 vendor, whereas we are grouped in as a region, you know,
6 with New Mexico and Utah and Nevada and so forth. And
7 there was, I think, a little bit of heartburn there.

8 But, you know, I think as the Launch Committee
9 starts moving from Step 2 to Step 3, you know, they'll be
10 working through some of those nuances. You know, for me,
11 the important thing is keep the momentum going, you know,
12 don't take your foot off the pedal, keep the momentum going
13 and let's work through these issues. You know, the
14 utilities are at the table. They get to have part of this
15 conversation, as well. But, you know, continue to move
16 through Step 2 and let's see where Step 3 takes us and try
17 to work out the differences as we move along.

18 I mean, nothing's going to be perfect. There's
19 going to be, you know, hiccups along the way. There's
20 going to be, you know, barriers here and there that we have
21 to, you know, figure out how to get around, to get over and
22 get through, removed. And it's not an easy task. Again,
23 this is something that was built from the ground up. You
24 know, it would have been too easy to follow a PJM model or
25 the other models invoked in the East. And so, you know,

1 we're not PJM, we're not the East, we're the West, and
2 we're unique in that.

3 And so, I think as we, you know, as the states
4 continue and the stakeholders continue to work through Step
5 2 and move to Step 3, I think you're going to see a lot of
6 the details work themselves out.

7 That's why, you know, I'm committed to staying on
8 and seeing this through, because I, you know, I think
9 Arizona's utilities, you know, jumped the ball a little
10 bit. I think they jumped out there ahead of their skis
11 and, you know, and I asked them if they would just allow
12 this to work itself through and see where it ends, you
13 know, because this could be the next best thing since
14 sliced bread. You won't know if you don't see it through,
15 and that's why I'm committed to seeing it through.

16 MR. LINVILL: Thank you.

17 Chair O'Connell?

18 CHAIR O'CONNELL: Yeah, thank you. And it will
19 be interesting to count how many times the word value gets
20 used in the answer to this question. But really, I see
21 Step 2 as how to grab the value that we were talking about
22 when we wrote the letter, you know, that Step 1 is
23 valuable. The value of trade really gets achieved if we
24 get to Step 2. So, you know, solving the governance issues
25 so that we can have the broadest regional footprint, and

1 then the amount of money that's contained in the day-ahead
2 market versus an imbalanced market is orders of magnitude
3 different.

4 One of the things that I got to commend my fellow
5 Commissioner Aguilera, he created a workshop process that
6 we ran through over the last year as our utilities were
7 struggling with, hey, what do we do? And, you know, we've
8 allowed a good conversation on, well, you can look at it
9 very narrowly within your control room, or you can look at
10 it in terms of what New Mexico has to offer.

11 As part of that conversation, the utilities
12 brought forward a lot of the economic studies that
13 Commissioner Tawney was talking about. And one of the
14 things that sang through for the New Mexico utilities is
15 connecting New Mexico with the utilities in the Pacific
16 Northwest, like Oregon, was going to create value for both
17 of them because of the diversity in the resources and
18 diversity in the weather, diversity in all that kind of
19 stuff. So that was really the backbone of the value we can
20 create by moving the day-ahead. And then you add
21 California to that, and it's like a turbocharger.

22 So I agree with Commissioner Thompson, it will be
23 interesting to see if we can overcome this governance
24 issue, how well decisions of the folks who have jumped in
25 outside of the broadest footprint, how well those decisions

1 will age. But as the economic studies suggests, not well.

2 MR. LINVILL: Thank you.

3 Commissioner Doumit?

4 COMMISSIONER DOUMIT: Well, thanks for letting me
5 go last, you know, because I can -- sometimes I follow Ann
6 Rendahl on the Commission. And when Ann speaks and I
7 listen, I have said this numerous times, yeah, everything
8 she said. I just adopt for the record what Commissioner
9 Rendahl said. That's my stance. And so I can say the same
10 thing today, just adopt for the record what my colleagues
11 have said.

12 But, no, I think Step 2 is really the crux;
13 right? You know, this is, you know, assuming the Formation
14 Committee gets this work done, and it will, and
15 legislation, this will create that independent governance.
16 And then for me, right, and I know in my state, governance
17 is weighted heavily, right, against other factors. But if
18 you can take that off the board, then you're really looking
19 at value for the consumer, okay? That's the choice then
20 that participants, potential participants are left.

21 I would say, we don't have the ability to, you
22 know, dictate where or approve the decision where this
23 goes. But we do have the ability to judge prudence, you
24 know, in the public interest. And we will, at a time, you
25 know, ask that the decision be justified, you know?

1 Now, our, unlike in Arizona, our IOUs up there,
2 PacCorp (phonetic) has obviously made its choice. Avista
3 and PSC (phonetic) have told us that they're continuing to
4 let things play out, just as Commissioner Thompson, you
5 know, said. And that appears to be, you know, what's
6 happening.

7 They've also said in the public record, though,
8 that they -- you know, it looks like where Bonneville goes,
9 that will be -- that will end up being for them what is the
10 best interest of our consumers. And we'll see on that.

11 But at this point, you know, I really feel like
12 this is so critical to continue the momentum to get this
13 Step 2 taken care of so that that issue of governance
14 becomes a non-issue. And then we're truly measuring
15 consumer benefit here.

16 MR. LINVILL: Great. Thank you so much.

17 It's time to start the engagement of the panel
18 with, first with the dais and then with questions. I'm
19 going to turn it back to Jake here to take care of that.

20 MR. MCDERMOTT: Thanks, Carl.

21 So I think what we can probably do is turn
22 directly to the Vice Chair and see if you have any direct
23 questions for the panel, then kind of go through the rest
24 of the folks on the dais.

25 VICE CHAIR GUNDA: Yeah, thank you, Jake and

1 Carl.

2 I just want to begin by just, you know,
3 recognizing, Carl, your contribution. When we started
4 this, you know, about 18 months ago and, you know,
5 recognized the need for an independent, trusted partner and
6 facilitator in the West that everybody can listen to and
7 feel comfortable to have, you know, be an honest broker,
8 and I don't think we can find a better person. So for your
9 incredible contribution, thank you so much for all your
10 work.

11 Also, Jake, who just presented, thank you for
12 your presentation, Jake. Jake comes from PUC, California
13 Public Utilities Commission, but before that from the
14 Public Advocates Office in California. So he does
15 represent a lot of different stripes now, bringing all the
16 wealth of knowledge here. So thank you, Jake, for your
17 participation.

18 And before I thank my Commissioners from the
19 West, I also want to just give a shout out to Grace
20 Anderson, who's in the audience, a long-term, you know,
21 staff member at the CEC who has spent so much time in the
22 West building the trust, which has been such an important
23 part of this panel.

24 So I just, you know, extend the thanks from the
25 dais here to Commissioner Tawney, Commissioner O'Connell,

1 Commissioner Thompson, and Commissioner Doumit. For me,
2 you know, this last 18 months working with each one of you,
3 as you summarized, is really around defining the clarity of
4 purpose and goals, making sure that we all understand what
5 is it that we are striving for.

6 And Commissioner Tawney, many of the times, too,
7 you reminded, you know, how can we take emotions out of the
8 process a little bit to really kind of think through, you
9 know, how to build trust and how to think about facts and
10 how to organize ourselves around, you know, objective, you
11 know, strategies? So thank you for your leadership. And
12 as Commissioner Doumit said, I would always say whatever
13 you said, so thank you for being here.

14 So I think we have one question from the dais.
15 So I'm going to go to Commissioner McAllister. And then
16 we'll go to the public because we want to take as much time
17 as possible from the public.

18 COMMISSIONER MCALLISTER: Thank you, Vice Chair
19 Gunda. And I'll just sort of reinforce and lift up your
20 comments of thanks to everyone, particularly Grace, who's
21 just been a stalwart at the Commission for so long. And I
22 really appreciate her educating me as I've come, you know,
23 into these issues at the Commission and many others.

24 And just thanks to all four of our panelists.

25 Just let me just build briefly on what Vice Chair

1 Gunda just said. I've just been really impressed and
2 learned a lot from all of you, and really the whole group,
3 just as a model of collegial respect, just being -- you
4 know, not being afraid to sort of challenge ideas and poke
5 at things and stress test different perspectives and really
6 try to look at all of this from as many perspectives as we
7 can bring to it to make sure that the proposal is strong
8 and moves forward in a way that really works for everyone,
9 and just so we understand all of its facets and can really
10 work through them.

11 And I think the group, just the professionalism
12 and just the collegiality and the rigor, is just amazing.
13 I think it's really a model process. And a lot of it has
14 to do with the people that are at the table. And as that
15 group expands, I think that model really helps, you know,
16 as things move forward to putting in -- going into, you
17 know, the next phases. I think the example that's been set
18 and really that the expectation of how this whole
19 conversation operates is just at a super high level of
20 professionalism, which gives me a lot of hope. So thanks,
21 just thanks, to all of you for just all of that that you're
22 bringing to the table.

23 So my question is actually for Carl, and I'm
24 sorry to put you on the spot. But, you know, you went
25 through the development of the RO and its structure and

1 kind of described how it ended up at a high level. And you
2 sort of ended by saying this really could be considered
3 best in class in terms of its structure. And I wonder if
4 you could sort of, you've got so much experience in this
5 sort of thing, maybe just put a little more color on that?
6 You know, I think a couple of unique, sort of the consumer
7 orientation and that accessibility to public scrutiny, I
8 think is part of that, but there's a number of elements.
9 And I just wanted to do this, maybe just go a little, run
10 deeper on that, just a step deeper on that.

11 MR. LINVILL: Sure. I'll be brief because -- but
12 I'll say, you know, first of all, this Office of Public
13 Participation is unique as far as I'm aware. You know,
14 the recognition that staying engaged with the states as
15 policy develops, as tariff proposals or tariff revisions
16 are considered, is really important to make sure that there
17 aren't unintended consequences for one state or another
18 along the way. Nobody wants to be caught by surprise by a
19 rule change that ends up making it harder for you to meet
20 your goals than what you thought. So that's one example of
21 that public participation advisory function.

22 Another interesting piece is the stakeholder
23 process. There was a whole separate work group devoted to
24 developing a stakeholder process. There was a broad
25 engagement of stakeholders, utilities. And I just think it

1 is positioned to be the most accessible, open process that
2 one can imagine for an RTO, or in this case a regional
3 organization entity.

4 If, you know, if you go around to different RTOs,
5 it's pretty easy to find frustration on the part of
6 stakeholders that, you know, I -- my view is not in the mix
7 early enough, I'm locked out somehow. I think there was a
8 real effort in the development of that stakeholder process
9 to provide accessibility to the broadest group possible,
10 including, you know, non-traditional stakeholders. Some
11 RTOs are far more focused on market participants to the
12 exclusion of others who have an interest but may not be
13 direct participants in the market. This stakeholder
14 process, I think, you know, achieves that.

15 So there's a couple of quick examples. We could
16 go on to others. But I do think there -- and there's a
17 very intentional effort to consider the public interest to
18 offer -- to ensure that promoting the public interest as
19 states define that, because it's not uniform across all
20 states, defining what it means to protect consumers, what
21 it means to protect the public interest, that those
22 differences, those nuances are recognized and allowed to
23 coexist.

24 Anyway, those are a few examples. We could --
25 the slides have more detail and there's far more detail

1 than that, but I hope that helps.

2 VICE CHAIR GUNDA: Thank you, Commissioner
3 McAllister.

4 Before I go to Jake for any questions from the
5 public for the panel, Commissioners from the West, I know
6 it's been an absolute honor to work with the four of you
7 over the last 18 months and get to know you and get to know
8 how to do public service in the West.

9 So I have just one question. I mean, given how
10 much me and President Reynolds and others in the dais have
11 been involved with the details of the work, I'm going to
12 stay away from Pathways, but just want to ask you a broader
13 question.

14 In terms of moving forward, you know, given, you
15 know, the -- one of the observations I took away is, given
16 the diversity and given the history in the West, it seemed
17 that doubt and sometimes fears are easier to flourish than
18 trust and kind of that good faith in each other. And that
19 opens up a lot of fears on the risks for each of us in the
20 States as we continue this path.

21 I wanted to kind of see if you have any
22 guidance/input to not just California, but for the West on,
23 you know, how to continue to solidify working together, no
24 matter which choices we might make and what markets we
25 might join?

1 COMMISSIONER TAWNEY: Thank you for that, Vice
2 Chair Gunda.

3 I would start with the premise -- I think the
4 2000 and 2001 energy crisis demonstrates this in spades,
5 unfortunately -- we can all pretend that we can somehow
6 take our ball and go home and protect our customers and act
7 as islands. And that is false. That's a false sense of
8 security.

9 The WECC is structurally uncompetitive and deeply
10 intertwined with each other. We are reliant on each other,
11 no matter what. You choose to invest in batteries, it has
12 a direct impact on the prices that show up at the mid-sea
13 (phonetic) market hub I have for my customers and my power
14 cost cases. If I make a choice to invest in wind or to
15 figure out transmission, like Gateway South, it has a
16 direct impact on what's available to California.

17 Because that is the reality of the WECC, our
18 customers are better served if we are in dialogue with each
19 other and honestly trying to ensure the maximum value for
20 each other. We can retreat into the fear but it will only
21 serve to hurt my customers. They will only end up poorer
22 if I fall into that mindset, because it can't truly
23 predict.

24 And so building a governance structure, building
25 a set of partnerships where we can surface issues, we can

1 dialogue about them, we can bring a fact set to bare on
2 those issues will serve our customers as they face really
3 rapidly emerging risks and really try to adapt in real time
4 to a rapidly changing landscape, even if we made no
5 additional resource changes in the West, just hoping with
6 the heat events alone and the opportunities brought by the
7 re-onshoring will stress us. And we'll do it better
8 together than pretending we could go be on our own island.
9 And so I appreciate the effort to work together.

10 CHAIR THOMPSON: You know, I think for me, you know,
11 the biggest signal came of the Western cooperation, I
12 think, when CAISO sat at the table and said, we understand
13 that things can't be how they've always been, that we're
14 going -- the CAISO of tomorrow is not the CAISO of today.
15 And to me, that was kind of like that AA moment of
16 recognizing, you know, that there's a problem.

17 And to me, that was kind of when the light went
18 off that there seems to be more cooperation now, more than
19 ever. I think, you know, I'm looking forward to seeing
20 what the California legislature is going to do with the
21 bill, you know, and what the future CAISO governance is
22 going to look like. You know, the devil will be in the
23 details on that.

24 But again, moving to, you know, moving on to
25 beyond Step 2 and into Step 3, I mean, you know, to me,

1 it's there seems to be so much more trust now than there
2 was even prior to June 2023. I think there's more
3 recognition amongst the Western states that there's a
4 greater collaboration that's taking place.

5 And so, again, I go back to our utility. I think
6 they jumped the gun. I wish they would really slow their
7 role and pay attention to what's happening because I think,
8 you know, the change is in the wind. And again, I think it
9 all happened when CAISO sat at the table and said, we know
10 that the CAISO of tomorrow is not the CAISO of today. And
11 to me, that was an eye-opener.

12 And so, you know, I'm looking forward to the
13 great things that are going to come. I think there's a lot
14 of collaboration across the West. I mean, even Idaho is at
15 the table now, involved in the conversations where they
16 weren't before, didn't want to be before, but now they're
17 at the table. And so you're seeing a lot more
18 conversations taking place, a lot more structure, I think,
19 between all the West.

20 And, you know, really kind of -- I mean, I
21 personally have developed a bond with all of you, you know,
22 that I'm going to miss when, you know, when my time is done
23 on the Commission. But, you know, I'm grateful that I've
24 formed the friendships and the time that we've been
25 together. And I look forward to continuing that. And

1 that's a trust that we've built amongst ourselves by being
2 involved in this, you know, the relationships and so forth.

3 So that's my perspective.

4 CHAIR O'CONNELL: Yeah, I think we're just in
5 this moment of change, and change is scary. So, you know,
6 that's kind of on a macro current, you know, especially
7 on -- and then if you take that, the world is changing to
8 the electric grid, we've talked about it, it's growing,
9 there's new loads coming, there's new ways to supply load
10 developing, so all that can be scary and disorienting.

11 So I think a bit of it's a leadership question,
12 so events like this help. I'm always going back and
13 reminding folks that your electric service would be
14 horrifically much more expensive if you tried to build
15 everything you need by yourself. So just trying to
16 reinforce those messages, you know, show that we're working
17 together for everybody's benefit. I'm maybe a little
18 Pollyanna here, but I'm hopeful that that pays off in the
19 long run.

20 COMMISSIONER DOUMIT: And I guess I'd just close,
21 Vice Chair Gunda, by returning, you know, your words. It's
22 been an honor to work with you and your California
23 colleagues, so authentic and so empathetic, you know, as
24 well. It's really been a pleasure and interactive, you
25 know, more to the point.

1 But you want to not talk about Pathways. I'm
2 just going to come back to that for a minute because I have
3 the good fortune of now being one of the BOSR
4 representatives to the Formation Committee with one of my
5 good friends, Darcie Houck from California, and John
6 Hammond from Idaho.

7 And I attended my first Formation Committee
8 meeting earlier this week. And it was like -- let me ask,
9 do folks remember the Moody Blues, the band, the Moody
10 Blues? Because I was in a meeting the other day in Seattle
11 at a table and all these high-level people from these
12 companies, I said, talking about Dr. J., Julius Irving,
13 nobody -- blank stare, nobody remembers. So Moody Blues is
14 farther back, you know, than that even.

15 But I remember seeing an interview with the Moody
16 Blues guitarist and saying, look, what's it like after you
17 haven't been in the studio for a lot of years -- or, excuse
18 me, a lot of months or some time and then you come back?
19 "Yeah, I'm always worried about that. But then we play and
20 all of a sudden there it is. There's our sound."

21 So I want to tell you that at Formation
22 Committee, there was a sound, the same thing, the same work
23 ethic, the same, you know, collaboration, the same spirit
24 there. So I am fully confident that, just like the work
25 that happened before, this Formation Committee will come in

1 on time, on budget and with a robust product. I have total
2 confidence in that.

3 So I would just leave you there.

4 VICE CHAIR GUNDA: Thank you so much,
5 Commissioners.

6 With that, I'll go to Sandra for any public input
7 in the room, and then to Jake.

8 MS. NAKAGAWA: All right, we're now going to open
9 it up to audience Q&A. For those in the room, please use
10 the Zoom Q&A feature if you're able to. If you're not able
11 to, you can fill out a yellow question card at the back
12 table and return it there. So go ahead and grab that
13 yellow question card if you want to do that and we will
14 return to those questions after going to the Zoom one.

15 So I'm going to turn it over to Jake to moderate
16 our Zoom Q&A here.

17 MR. MCDERMOTT: Thanks, Sandra.

18 So we have a couple of questions I'd like to kind
19 of go through.

20 The first, which I think I'm going to turn over
21 to Carl for, is, "There's a slide on governance that says
22 that the RO will have a seven-member board from any state
23 nominated by committee. What committee is this and who
24 approves these nominees?"

25 MR. LINVILL: Goodness. I think I might defer

1 this to Jim Shetler, who's going to speak a little bit
2 later, but I'll just briefly say that there is going to be
3 a Nomination Committee. And the definition of that
4 Nomination Committee and so forth is in the charter. And
5 he's the most familiar person with that charter and so I
6 think he would be the best person to answer that question.

7 MR. MCDERMOTT: Sounds good. We can come back to
8 it later in the day.

9 I'd like to combine two of the items we have
10 remaining into one. I think I heard Commissioner Tawney
11 earlier speak about the provisions that sort of respect,
12 right, the sovereignty of the participants and the states
13 in particular and their different public policy priorities.

14 So there's kind of two questions here, which is,
15 the central question is, essentially, how does this
16 initiative and this work and the RO envision the protection
17 of Western interests when interacting with FERC and other
18 federal interests?

19 COMMISSIONER TAWNEY: We understand the
20 challenge. The rest of the West outside of California has
21 some very -- has some specific doubts about engaging with
22 FERC or BPA, certainly just very hesitant to do anything
23 that would increase FERC jurisdiction.

24 I think what is critical to understand is that
25 the CAISO is under FERC already, and that what many things

1 can be just and reasonable under the FERC standard, and you
2 see a very strong difference in how different things
3 happen, how different proposals, how different problems are
4 solved in the U.S., those differences are shaped by the
5 governance of stakeholders, such as both (phonetic) of
6 those RTOs.

7 And as I have engaged across governance questions
8 over the last six years across the West, what gets
9 developed as a proposal in response to a directive from a
10 federal agency, and ensuring that that response really
11 addresses the interest and the public benefit of the
12 participating states, is the responsibility of the region
13 and is a product of the governance of the institution. If
14 you have an institution that sets out key stakeholders,
15 sets out large minorities, then you get solutions that are
16 not as inclusive. And I think what we've seen and where,
17 Carl pointed to best in class, is an effort to build a
18 governance. A

19 We'll face hard decision. No one -- there will
20 be times when folks swallow some bitter pills, but have
21 proactive solutions that address more interest than risk,
22 particularly those around public policy and public benefit,
23 that those are centered in the policy proposal, just like
24 they are today.

25 MR. MCDERMOTT: Thank you, Commissioner Tawney.

1 I think with that, we will probably move to the
2 next panel. Is that right, Sandra?

3 MS. NAKAGAWA: Yeah, we're going to just take
4 about a two-minute break to transition here. And if we
5 could have Julie, Mark, and Marc come up, we will get them
6 set up.

7 And thank you so much, Commissioners and Carl,
8 for facilitating this last panel.

9 VICE CHAIR GUNDA: Thank you, Commissioners
10 Tawney, Thompson, O'Connell, and Doumit. Thanks for being
11 here.

12 CHAIR THOMPSON: Thank you and have a great day.

13 COMMISSIONER TAWNEY: Thank you so much. Take
14 care.

15 (Pause)

16 MR. MCDERMOTT: All right, I think we're now
17 back.

18 Let me quickly introduce Julie Halligan. So
19 Julie is the Manager of Electricity Planning and Policy at
20 the Public Advocates Office at the California PUC. I've
21 known Julie for a number of years. I was lucky enough to
22 work on her branch once upon a time. Super thrilled to
23 have her moderate this panel. So this is going to be a
24 panel on diverse stakeholder perspectives asking -- we're
25 going to hear from some folks across the landscape on their

1 organizational views on regional electricity markets and
2 coordination.

3 And with that, I will turn it over to Julie.

4 MS. HALLIGAN: And first of all, I just want to
5 thank the Commission for having us here and giving me the
6 opportunity to participate in the workshop today.

7 And I'd also like to thank the regulators, again,
8 for your letter that started this process that we've all
9 been working on. It's a pleasure to discuss the Pathways
10 process in a different forum and actually meeting some
11 people in person that I've only seen online through
12 Pathways.

13 I will let -- the panel this morning is three
14 Marks. I have to apologize if there's any other Marks, I
15 missed you. Otherwise, I would have included all of you.
16 But I'll let each of the Marks, we have Mark Specht online
17 and the other two here. I'll let you introduce yourselves
18 first.

19 Why don't you start, Marc Joseph?

20 MR. JOSEPH: Thanks, Julie. And thanks to all of
21 you for engaging in this discussion, which is really
22 important and really will set the table for what's coming
23 for the next year.

24 My name is Marc Joseph. I am a lawyer. I'm a
25 counsel to the firm of Adams Broadwell Joseph & Cardozo.

1 In this context, I represent the Coalition of California
2 Utility Employees and the California State Association of
3 Electrical Workers, collectively in short, the IBEW.

4 MS. HALLIGAN: Thank you.

5 Mark Padilla?

6 MR. PADILLA: Hi. Good morning, everyone. Mark
7 Padilla. And I do want to express my gratitude being here
8 and being invited to speak.

9 I'm from L.A. Water and Power. I'm representing
10 the public utilities. And I'm an engineer by trade. I did
11 a lot of work from the field work, from working at the
12 power plants, design, but also now the manager of the
13 Emerging Markets in Energy Settlement, so water and power.

14 Thank you.

15 MS. HALLIGAN: And then Mark Specht?

16 MR. SPECHT: Hey, everyone. Thanks for having me
17 today and thanks for hosting this event. I'm Mark Specht.
18 I'm the Western States Energy Manager at the Union of
19 Concerned Scientists. And UCS is a -- we're a nonprofit
20 advocacy organization nationally. And our mission is to
21 put rigorous, independent science into action, developing
22 solutions, and advocating for a healthy, safe, and just
23 future.

24 And just the other thing I'll note is I was one
25 of the public interest organization representatives on the

1 Launch Committee that developed the Pathways proposal.

2 Thanks.

3 MS. HALLIGAN: Thank you, Mark.

4 Yeah, most of you, I mean, well, at least two of
5 our Marks, have been members of the Launch Committee and --
6 but we've all spent a lot of time discussing the ideas and
7 providing guidance in Launch Committee meetings and in
8 working groups over the last year. And I would dare say
9 we're all pretty encouraged by the progress that's been
10 made in Step 1. And we look forward to the potential
11 benefits in reliability, affordability, and emissions
12 reductions that are offered by West-wide coordination in
13 Step 2.

14 The Launch Committee includes a diverse group of
15 stakeholders, including us. And we've all had to think
16 about what the structure and the process that are most
17 important to us in a regional organization, that are most
18 important to our constituents. For the Public Advocates
19 Office, our current directors on the Launch Committee, our
20 former director, Matt Baker, was on the Launch Committee.
21 But for the Public Advocates Office, that means a structure
22 and a process that would result in actual benefits while
23 protecting ratepayers. Ultimately, the ratepayers are
24 going to be funding this regional organization. So we want
25 to make sure that we are, you know, protected.

1 I think it's safe to say, also, that while we all
2 came into the effort with real different priorities and
3 goals and we had to work through many meetings and drafts
4 to create a proposal that attempts to meet or come close to
5 meeting each of these goals, we were really able to
6 identify areas of common ground. As President Reynolds and
7 others noted, the CAISO has already cleared a path for us
8 and demonstrated, you know, a successful model of working
9 together with other Western states through EIM. And we
10 look forward to similar success with the implementation of
11 EDAM.

12 And now, you know, we've seen launch of Step 1,
13 and we have the current Step 2 final proposal for a new
14 independent regional organization that can offer
15 coordinated West-wide electricity market services without
16 relying on just one -- the actions of just one state or
17 just one balancing authority.

18 Given where we are, I'll start my questions with
19 Marc Joseph. You've kind of been here before, and
20 previously, the labor organizations, IBEW, that you
21 represent have been opposed to prior regionalization
22 proposals. And can we hear from you? What has changed
23 with the current proposal, and why do your labor groups
24 support it now?

25 MR. JOSEPH: Thanks, Julie. You're correct to

1 note that in 2015, 2018, and 2023, we opposed bills that
2 would have regionalized all of the CAISO's functions. And
3 we think that was a bad idea then and it's a bad idea now.
4 We haven't changed.

5 What has changed is the proposal that's on the
6 table. The Pathways proposal is fundamentally different.
7 This is not your father's regionalization.

8 If we could put the slide up?

9 So you saw an abbreviated version of this slide
10 earlier when Carl was making his presentation. This is a
11 more detailed slide.

12 The first three times that regionalization was
13 proposed, it would have taken that top box, the California
14 ISO five-member board, appointed by the governor, confirmed
15 by the Senate, and eliminated that and replaced it with an
16 independent board. And all of the functions in those six
17 boxes below the top box, from transmission planning and
18 selection all the way through balancing authority
19 functions, energy market operations, energy market rules,
20 all of those would have gone with the new regional
21 organization -- oh, sorry, a new RTO. It would have been
22 independent, a new independent RTO. And California would
23 have been giving up all of its control over all of those
24 functions with no idea what was going to happen to them and
25 no chance for California to go back if we didn't like the

1 outcome. Commissioner Tawney pointed this out as one of
2 the problems with the past versions that we're trying to
3 solve this time around.

4 And the California legislature was asked three
5 times before to effectively, you know, mortgage the farm
6 with nothing more than trust us as collateral. This is a
7 particular problem for labor because California's entire
8 RPS structure is anchored in the CAISO balancing authority
9 area. If the CAISO became the RTO for the West, if that it
10 would be -- was the balancing authority for the entire
11 West, then all of our RPS structure and most of the jobs
12 that will be created by it would not have happened. It
13 would have been meaningless. And the really effective RPS
14 program that we've established would have been in real
15 danger.

16 The Pathways proposal is entirely different.
17 Instead of making the CAISO the regional organization,
18 we're creating a new regional organization with control
19 over the market rules. The CAISO and its balancing
20 authority area remain intact.

21 So if you look at the slide, we're creating this
22 thing in the middle, this new regional organization with a
23 seven-member board that's independent from any state. And
24 we're taking just one of the CAISO's functions, the energy
25 market rules, governance over those rules, and moving that

1 to the regional organization.

2 And then the extra detail here is important to
3 recognize too for the overall context that functions across
4 the bottom are all the -- or many of the functions, not all
5 the functions, many of the functions of the California PUC,
6 and those remain all untouched.

7 So we see that with this proposal, it's a much
8 more modest proposal. It's much more focused. It leaves
9 the CAISO's functions entirely intact except for governance
10 over the energy market rules. That's what goes to the new
11 regional organization. And by doing it like this, we can
12 get the benefits of optimized dispatch with savings for
13 customers, we can get improved reliability during the
14 stress times, we can get greenhouse gas reductions, all
15 while preserving the RPS structure and all the other
16 functions of the CAISO.

17 And that, this different structure, is why we
18 fully support the Pathways proposal and why we're going to
19 be sponsoring a bill to implement Pathways proposal for the
20 CAISO and the California utilities.

21 I would take issue with one thing that one of the
22 Commissioners said earlier. I'm very pleased with the work
23 we did. And I'm incredibly impressed with my colleagues on
24 the Launch Committee. I wouldn't liken our work product to
25 the Declaration of Independence. A little more humility

1 might be in order. This is a good product, not quite that
2 good.

3 MS. HALLIGAN: (Indiscernible) take that
4 position, because I feel like it is important to take
5 things -- I mean, it's been called a stepwise process, and
6 I think that step-by-step element is important. This does
7 take on a very manageable next step, and it will give --
8 allow the entities that do participate to continue to work
9 together, build the trust, and think about the next steps.
10 And that sort of cautious approach really resonates with
11 Public Advocates Office, so I really appreciate that.

12 Next, I'll ask a question for Mark Specht. Your
13 organization, the Union of Concerned Scientists, advocates
14 for environmental issues. What is the environmental case
15 for the Pathways Initiatives and the expanding membership
16 in the extended day-ahead market? How might it relate to
17 the state's ability to meet its ambitious climate targets
18 in the electricity sector?

19 MR. SPECHT: Yeah, thanks for the question,
20 Julie. And I think when I think about this question, I
21 think about it in the shorter term, and I think about it in
22 the longer term.

23 So just focusing on the shorter term, really one
24 of the main goals of the Pathways Initiative has been to
25 develop a new structure that makes more utilities in the

1 West comfortable staying in one big energy market together,
2 staying in the EIM, staying in EDAM. And with a bigger
3 market, that bigger market footprint, we've heard a little
4 bit of this already, you get more efficient dispatch of
5 resources, you get reduced renewable curtailment, and those
6 two things will lead to reduced costs, reduced emissions.
7 And we've already seen some of that in the Energy Imbalance
8 Market that the CAISO is operating.

9 In the shorter term, we, also, when you have a
10 bigger market, we also see some reliability benefits from
11 that. You can reduce the overall amount of capacity that's
12 needed on the grid to operate the grid reliability, and so
13 that could even allow some fossil-fueled power plants to
14 shut down earlier than they might have otherwise. And
15 having more participants in a bigger market also improves
16 grid operations during grid emergencies, as well. And
17 we'll hear more about all of this later on in the
18 afternoon, about the costs, emissions, reliability
19 benefits, when we hear more about the Brattle in Stanford
20 studies.

21 So that's sort of the shorter term, like these
22 are the near-term benefits you can get from having more
23 participants in one big energy market.

24 But I do also think it's worth reflecting on the
25 longer term and like what kind of situations the Pathways

1 Initiative could help set up. And so just acknowledging
2 that the clean energy transition is going to require a
3 really large build-out of new, clean resources across the
4 West, West-wide coordination on that build-out would really
5 help ease the transition.

6 And so, for example, something like having
7 regional cooperation on transmission planning could really
8 help plan a grid that's optimal in terms of meeting
9 electricity demands with the least-cost clean energy
10 resources. And we're not there yet. The Pathways
11 Initiative is not about transmission planning. But I do
12 think there's something to be said about keeping all these
13 utilities and balancing authorities in the West working
14 together in one big energy market and preserving the option
15 later on to build on those energy markets, add more
16 services to help -- that could potentially help ease the
17 transition to clean energy later on.

18 So that's kind of where I'm coming from with some
19 of those shorter-term benefits that are pretty clear,
20 pretty easily quantifiable, but then also these longer-term
21 potential opportunities that the Pathways Initiative helps
22 to set up.

23 MS. HALLIGAN: Thanks, Mark.

24 Now, I'll turn to Mark Padilla.

25 Mark, the Los Angeles Department of Water and

1 Power is the largest publicly-owned utility in the state of
2 California and has been focused on preserving and expanding
3 its independence over the years. LADWP has been engaged
4 and supportive of the Pathways Initiative, and I'm
5 wondering why that is. You know, are there concerns about
6 governance and losing independence that still remain?

7 MR. PADILLA: So we do have -- we do enjoy our
8 independence, we do enjoy our autonomy, but we are open to
9 collaboration and I think Pathways is key as far as being
10 engaged in the discussion. We've seen it in the EIM.
11 We've seen it as far as the flexibility and, also, for net
12 benefits. And like what we mentioned, we just joined the
13 EDAM.

14 And so as far as just walking through Pathways,
15 we see that the incremental steps, the step-wise approach
16 from Step 1 to Step 2, and being engaged during the
17 stakeholder process is important for the DWP. And I think
18 one of the Commissioners mentioned that it's the trust, and
19 so making our grid reliable and affordable.

20 So one of the key elements for us is our
21 ratepayers. And our ratepayers, they're very, very
22 important to us, our Board, Commissioners, and also our
23 City Council. So our autonomy is important. But just
24 seeing the Pathways progress and keeping the West together
25 in the market is also something that we want to be a part

1 of, and also want to be able to see how it moves forward in
2 a step-wise process.

3 MS. HALLIGAN: Great.

4 So as Marc Joseph noted a little earlier, the
5 Pathways proposal really does take on, you know, a narrow
6 set of changes, not the whole thing, but it deals with the
7 biggest one, well, the biggest initial stumbling block,
8 which is independent governance. So by creating this RO
9 with an independent policymaking board that has sole
10 authority over the real-time electricity market and the
11 extended day-ahead market, it's not appointed by the
12 governor.

13 I'll ask Marc, you know, with this RO setting the
14 rules for the energy markets, what protection does
15 California have to ensure that its interests are still
16 protected?

17 MR. JOSEPH: Thanks for that question, Julia.

18 And, Commissioner McAllister, you asked a similar
19 question, sort of, I would phrase it as, what are the
20 guardrails to be sure that California's public interests
21 and the interests of all other states, as well, are
22 protected with an independent body which does not owe its
23 allegiance to any state?

24 The Launch Committee worked really hard on this
25 question. We knew this was a key question, and it was

1 going to be a key question for the legislature to be able
2 to answer in the affirmative, yes, we do have guardrails
3 here. And so we count seven of them.

4 First, the RO's governance documents will have a
5 corporate obligation to respect the authority of each state
6 to set its own procurement, environmental reliability, and
7 other public interest policies, so it will be embedded in
8 the corporate documents of the RO itself.

9 Second, I'm particularly fond of this one, the RO
10 Board will have a Public Policy Committee that will be
11 tasked with engaging with each of the states, the local
12 power authorities, and the federal power market agencies to
13 be sure that any tariff changes don't adversely affect
14 their policies. They have to go out and actually engage
15 with each of the entities out there that set the policies
16 for their states and their local entities and be sure they
17 understand before they take an action, does -- will this
18 have an adverse effect on any state policies?

19 So there shouldn't be any accidental problems,
20 and they should be developing these consciously with state
21 policies in mind. And we've also built in an early check-
22 in in the stakeholder process. So this committee will flag
23 anything early in any development of any changes in the
24 stakeholder process so they can be considered in the
25 development of any tariff changes along the way.

1 Third, the RO Board itself will be seeking input
2 from the body of state regulators. This is an existing
3 body. Everything I hear is that it works really well and
4 it does a really good job of surfacing the interests of
5 each of the participating states. And so we're going to
6 take advantage of that and be sure that the RO Board seeks
7 input from the body of state regulators.

8 Fourth, the RO will provide tariff-based funding
9 for a consumer advocate organization so that the state's
10 consumer representatives will be able to effectively engage
11 in the RO's proceedings. It's hard to keep track of what
12 this other entity is doing when you've got a day job
13 working at your own commission and being informed about,
14 informed of and informed about those things. And having
15 the opportunity to have joint representation before the RO
16 Board should facilitate and enhance the ability of
17 consumers to be represented and heard. And this is a, you
18 know, distinct improvement on the current situation, at
19 least at the CAISO.

20 Fifth, the regional organization will maintain an
21 Office of Public Participation so that the public will be
22 able to better engage in the RO's proceedings. And this,
23 we're thinking, will be modeled after FERC's existing
24 Office of Public Participation, as well as that of a number
25 of other states, including California, that have, entities

1 like that. We have it both for the -- at the PUC, we have
2 it at the Energy Commission, and there are a number of
3 other states that have that, as well.

4 Sixth, the regional organization will have access
5 to independent market analysis so that the impacts of the
6 market, either ongoing or changes in the rules, will be
7 understood and fully understood, and fully understood what
8 the impacts of those will be on end-use customers.

9 Because, Julie, as you said, ultimately that's who's paying
10 all of the bills. And so the board needs to understand
11 exactly what those effects are on end-use customers, and
12 they'll have that information.

13 And finally, we want to be sure that the market
14 data will continue to be available to the California PUC,
15 to the Public Advocates Office, and to the commissions and
16 public advocate offices in all of the other states as well.

17 So with that set of guardrails, we feel pretty
18 confident this will be a substantial improvement in the
19 development of rules that govern the energy markets over
20 what we have today.

21 MS. HALLIGAN: Thanks, Mark. And I do appreciate
22 the mentioning of the Consumer Advocates Office and the
23 tariff funding, because it's critical for all consumer
24 advocates, but particularly those in states where their
25 offices are very small. And we struggle in Cal Advocates

1 just to cover the commission's proceedings and the CAISO
2 stakeholder initiatives. And in a state where they just
3 have one or two individuals covering their area, this will
4 be key to allowing them to be represented.

5 But even with all that, there's still, you know,
6 a level of risk that we have to accept. You know, Cal
7 Advocates, when we went into this, some of the things that
8 we were concerned about were the need for transparency, the
9 access to data, like you've mentioned, how to ensure that
10 the decision-making process is fair and impartial, and
11 during the stakeholder work groups, a particular concern
12 that the stakeholder process, whether it could be created
13 in a way that it wasn't dominated by or, you know, heavily
14 weighted in favor of what we in Cal Advocates would call
15 sort of rent-seeking parties, simply because of the sheer
16 number of those parties or the resources that those parties
17 have. That was a big concern for us and spent a lot of
18 time in the stakeholder process work group to try to put in
19 some guardrails there to improve that.

20 I'll ask Mark Specht, from your perspective, you
21 were also in some of those work group meetings, for the
22 Union of Concerned Scientists, what were the threshold risk
23 issues for you? What do you see as the potential risk for
24 your organization in this type of change, and how has the
25 Pathways Initiative addressed those risks, or has it?

1 MR. SPECHT: Yeah, I think UCS definitely shared
2 some of the concerns that you mentioned, Julie, about the
3 potential for industry stakeholders to really dominate
4 stakeholder processes. And I think as Marc Joseph very
5 thoroughly mentioned, there are a number of different
6 protections in place to make sure that the public interest
7 is really -- the public interest and California's interests
8 are really respected in this new organization.

9 I would point to a couple things here. I do
10 think that the way that the Pathways Initiative has
11 structured the stakeholder processes, the consumer
12 advocates organization Mark mentioned, the Office of Public
13 Participation that was mentioned, as well, I think all of
14 those will help ensure that stakeholders are able to engage
15 with the organization meaningfully and have input into
16 decision-making processes.

17 I think, at least in terms of risks, I think
18 there's always a risk of deviating from like the vision of
19 the Pathways Initiative and what that group has really --
20 what the Launch Committee has laid out in the proposal.
21 But I think the structures, as long as we abide by the
22 structures and the spirit of those recommendations, I think
23 the stakeholder processes, the decision-making processes,
24 the governance structures we have set up, I'm quite
25 optimistic that those will function how we have envisioned

1 and intended for those to function.

2 MS. HALLIGAN: Thanks, Marc.

3 And I'll go back to Marc Joseph with one more
4 question before we turn it over.

5 Just from your perspective, how do you expect
6 ratepayer -- how do expect participation in a regional
7 organization to impact utility rates? I mean, especially
8 for residential, you know, folks that my organization
9 presents, you know, will the proposal -- do you think it
10 will be able to meet the sort of do no harm objective that
11 the Western Consumer Advocates Group set?

12 MR. JOSEPH: The Pathways proposal's initiative,
13 this will reduce consumer costs. This will be better than
14 do no harm. This will do good. I think we'll hear from
15 Brattle this afternoon about some attempted quantification
16 for that. You know, I think it's possible that one could
17 disagree with some of the assumptions, the analysis, but
18 the universal result from all of the analysis is that the
19 arrows are all pointing in the right direction. This will
20 reduce consumer costs.

21 You can just think about for California consumers
22 right now, California consumers have signed, their utility
23 had signed on their behalf, power purchase agreements for
24 lots and lots and lots of solar. Some of that solar is
25 being curtailed, it's being run into the ground, and it's

1 just being utterly wasted. To the extent that we can sell
2 that to customers in other states, it's cheap, zero
3 marginal cost energy for other states. It's also more
4 revenue, which will flow back to California customers.

5 So just from that alone, forget all the optimized
6 dispatch, but just reducing curtailment will have benefits
7 for customers both financially and climate benefits.

8 MS. HALLIGAN: Thanks, Marc. And we look forward
9 to hearing more later.

10 I'll turn it over to Jake.

11 MR. MCDERMOTT: Thanks, Julie.

12 I think now we're going to move into questions
13 from the dais. I'll hand it directly to Vice Chair Gunda,
14 if he has any initial questions he'd like to ask the panel
15 today.

16 VICE CHAIR GUNDA: Yeah, thanks, Jake, and thank
17 you for the panel, Julie, Marc Joseph, Padilla, and Mark
18 Specht, the three Marks of the day.

19 So I, you know, I think, Julie, you kind of
20 covered kind of really digging down into understanding the
21 risks, you know, as we go from the visioning exercise to
22 kind of developing, you know, some sort of guardrails and
23 how we go from the vision to the implementation.

24 I just wanted to, I know, Julie, kind of -- you
25 are here, too, just wanted to ask you, as well, along with

1 the other panelists, as we think through, you know, step-
2 by-step process of vision through implementation, are there
3 some, you know, any open things, you know, that we should
4 be focusing on as we think through implementation and, you
5 know, those elements of the implementation phase that you
6 think we should really pay attention to?

7 MS. HALLIGAN: Yeah, there are quite a few. I
8 mean, for the consumer advocates organization, the one
9 that's close to my organization, you know, obviously
10 developing that organization, creating the 501(c)(3)
11 organization and getting that up and running, but also
12 continuing to work on the stakeholder process to make sure
13 that -- there's still a lot of questions that were open.
14 The question of sectors and seats went back and forth
15 before we came up with a final proposal. So I think that's
16 still an open question that could use some additional
17 refining.

18 But I think, yeah, I think there's also -- there
19 were several proposals that Cal Advocates put forward that
20 were not taken. We are still interested in looking at how
21 the -- you know, whether or not the regional -- the board
22 has any oversight over CAISO's staff selections. That
23 seems a little odd to us because they are going to be two
24 separate entities.

25 So there's things like that. There's quite a

1 few. If I were to go through our comments, I think I could
2 list probably about 10 things that still need work, but
3 I'll save you all from those because our comments are
4 public.

5 MR. JOSEPH: I would answer this in two ways.
6 One is, one of the later panels, you're going to have some
7 people on Launch -- on the Formation Committee who are
8 already deep into that. And so I would ask your question
9 to them, as well, because they're, they've got a list of
10 to-dos.

11 Beyond that, I have every confidence, based on
12 the past year, that the work over the next year by the
13 Formation Committee, we'll be able to successfully address
14 the next level of detail to realize the Pathways proposal
15 as a real thing.

16 I have to repeat what some others have said. The
17 talent of people and the experience and the dedication and
18 the amount of work that people put into this is really
19 unbelievably impressive. And, you know, it's just a
20 delight to have six or seven hours of standing Zoom
21 meetings a week with them.

22 MS. HALLIGAN: Hopefully it's not going to take
23 the same level of commitment for the next year.

24 MR. PADILLA: Well, I do agree. I think we're,
25 as on the L.A. side, we're seeing how the Formation

1 Committee addresses this. I think it's -- we're very much
2 engaged and we're going to be part of the stakeholder
3 process. So, yeah, we're just looking forward to that.

4 MR. SPECHT: And I'll just add, I definitely
5 agree with Julie on some of the details, smaller details
6 that still need to get worked out with the stakeholder
7 process and the Stakeholder Committee in particular. I
8 think there are still some questions about the role of that
9 group and what kind of processes and decisions they have
10 authority over. And I'm looking forward to working through
11 those issues and developing that robust and inclusive
12 stakeholder process that we're all envisioning.

13 VICE CHAIR GUNDA: Thank you.

14 Just want to see if anybody from the dais have
15 any questions? Okay.

16 So with that, I will go to you, Jake.

17 MR. MCDERMOTT: Thank you, Vice Chair.

18 I think we have just one question currently on
19 the Zoom. So it will be, primarily, I think we can start
20 with Marc Joseph, but then folks on the panel are welcome
21 to jump in as well.

22 So as we know and has been discussed, this will
23 require legislative action from the California general
24 assembly. Like all legislation, whatever gets filed will
25 change throughout the legislative process. Marc Joseph, I

1 think, discussed the guardrails, but are there clear
2 components of the legislation identified of what must be
3 included in the legislation and what must not be included
4 in the legislation to ensure what is passed accomplishes
5 that goal of independence and fair market design?

6 MR. JOSEPH: So, Jake, as I said initially, we
7 will be sponsoring the bill. The ultimate contents of that
8 bill belong to the 120 people who get to vote on it. And I
9 am not one of them. But I would envision that the bill
10 would include in it reference to each of the guardrails
11 that I identified. And that, like most bills, it will
12 improve through the process as many people get to weigh in
13 and identify issues with the language, and there will be
14 opportunities for fine tuning it.

15 But as a basic core structure, I expect that the
16 bill will be identified -- it will be, sorry, authorizing
17 CAISO and the California electrical corporations,
18 California IOUs, to participate in energy markets governed
19 by a regional organization that have the characteristics
20 that were identified in the Pathways proposal. That's the
21 core of what the bill would do.

22 MR. MCDERMOTT: Any other thoughts from folks in
23 the panel? Okay.

24 I think we have one more question that I see in
25 the chat so far, so it's a general question. It just says,

1 "Will the stakeholder group include representatives from
2 climate and environmental groups?"

3 I might turn to Mark Specht initially for his
4 thoughts on this.

5 MR. SPECHT: Yeah, so I'm not completely sure
6 which stakeholder group the questioner is referring to, but
7 I can say a bit more broadly about the stakeholder process
8 that the Launch Committee has proposed for the new regional
9 organization. And, basically at the core of it,
10 stakeholders are divided into different sectors. And one
11 of those sectors is public interest organizations within
12 which environmental groups would fall. And there are
13 processes and opportunities for any organization to comment
14 on proposals or anything that comes before the regional
15 organization. And then there are additional opportunities
16 to actually vote on those proposals.

17 And so with that sector for public interest
18 organizations, I think of that as the home for
19 environmental organizations in particular and other public
20 interest organizations. And with those opportunities for
21 comments, with the voting opportunities, I think those are
22 some of the most robust ways for organizations to
23 participate.

24 And the last thing I'll just add there is, Carl
25 mentioned and Marc Joseph mentioned the Office of Public

1 Participation, which is something that public interest
2 organizations were really interested in having included in
3 the Launch Committee's proposal.

4 And I think that's going to be an important
5 element that really enables, especially, under-resourced
6 organizations to participate in stakeholder processes and
7 decision-making at the regional organization, and really
8 just breaks down barriers for participation, since it's
9 often quite complex, very difficult to understand the
10 decision-making processes and how to actually have your
11 voice heard in these processes. So I'm also hopeful that
12 that Office of Public Participation will really better
13 enable stakeholder engagement at the new organization.

14 So hopefully that covered it.

15 MR. MCDERMOTT: I think so. Thanks, Mark.

16 I think now, I mean, we have one more question,
17 which I think we can answer later in the day, but the
18 question is, "What will be the representation from the
19 community choice aggregators?" We're going to hear from
20 Evie Kahl later in the day from CalCCA and she might be the
21 best person to kind of talk through that.

22 but in the meantime, I'll turn back to Sandra for
23 any in-room, Q.&A.

24 MS. NAKAGAWA: All right. Thanks, Jake, and
25 thank you all the panelists and Julie for facilitating.

1 If anyone would like to make a question of the
2 presenters, please use one of the yellow cards at the back.
3 I'm going to actually pause and see if anyone wants to
4 raise their hand or grab the card.

5 I don't think we have any in-room questions at
6 this time, so we will be breaking for lunch here in a
7 couple minutes, so just a few FYIs on lunch.

8 The Zoom will remain on, but it will be muted and
9 it will resume at one o'clock sharp. Attendees can either
10 remain on the Zoom or log off and then come back using the
11 same link you used to join in the morning session.

12 For those that are invited to join lunch at the
13 CEC offices on the third floor, we'll need you to go to the
14 security desk. So exit here, head towards the entrance on
15 P street. And we will need to have folks sign in with
16 their government ID there.

17 And also just want to make a note about those who
18 are hoping to public -- make public comment later in the
19 day. There is public comment scheduled at the end of
20 today's workshop. If you'd like to comment, we're going to
21 need you to grab a blue card from the back table and start
22 filling that out now so that we know that, to expect that
23 comment there.

24 And with that, we will take a break for lunch.
25 Thank you, everyone.

1 (Off the record at 11:41 a.m.)

2 (On the record at 1:00 p.m.)

3 MS. NAKAGAWA: Good afternoon, everyone. Welcome
4 to today's Integrated Energy Policy Report, or IEPR,
5 Commissioner Workshop on Regional Electricity Markets and
6 Coordination. I'm Sandra Nakagawa, Director of the IEPR
7 here at the CEC.

8 So in our morning session today, we heard from
9 Western regulators and another panel on stakeholders who
10 are engaged in the Pathways Initiative. Going into this
11 afternoon, I'm really excited, we're going to have a,
12 first-off, roundtable with market participants, and then
13 we're going to turn to a panel of researchers looking at
14 assessing the benefits of Pathways for California.

15 So as a reminder, this workshop is being held as
16 part of the CEC's proceeding on the 2024 IEPR update. We
17 are doing a hybrid workshop, meeting in-person here at the
18 CNRA Auditorium and via Zoom. For those in person,
19 restrooms and water refilling stations can be found outside
20 the auditorium to the right.

21 Also, this workshop is being recorded, and there
22 will be a link to the recording available on the CEC
23 website shortly after the workshop.

24 To follow along, the schedule and slide decks
25 have also been docketed and posted on the CEC's website,

1 and there's going to be an opportunity for you to ask
2 questions of the presenters for each panel. We'll have a
3 few minutes afterwards. We won't necessarily be able to
4 get to every question, but if you would like to submit a
5 question, use Zoom's Q&A feature.

6 In-person attendees, we would also encourage you
7 to use the Zoom Q&A feature. So if you are unable to do
8 that, there's a table at the back where you can find yellow
9 question cards. You can also upvote questions that appear
10 in the Q&A. Those with more votes, that have that thumbs-
11 up icon for upvoting, will be moved to the top of the
12 queue.

13 All right, and then lastly, attendees will have
14 an opportunity to make public comment at the very end of
15 the day. Please note that we will not be able to respond
16 to public comment, and those comments are limited to a
17 maximum of three minutes per person, with one person per
18 organization allowed to comment.

19 All right, so we're going to turn it over to Jim
20 Shetler, General Manager of the Balancing Authority of
21 Northern California, who's going to be facilitating our
22 next panel of market participants.

23 VICE CHAIR GUNDA: Thank you, Sandra. I'm not
24 Jim. I'll pass it to Jim in a second.

25 Just wanted to acknowledge, Commissioner

1 Houck is with us from PUC, joining for the rest of the
2 afternoon.

3 And I also just want to note that I have to step
4 out between 2:00 and 3:00, and Commissioner McAllister will
5 be leading the workshop during the time.

6 With that, to you, Jim. Thank you.

7 MR. SHETLER: Thank you. First of all, on behalf
8 of the panel, I want to extend our appreciation for you
9 inviting us here today. As noted, we represent a range of
10 market participants. And we also represent participation
11 in the Launch Committee. Each of us were Launch Committee
12 members, and there are two of us here who are on the
13 Formation Committee. So I think we bring a set of unique
14 perspectives on this subject and we look forward to sharing
15 that with you.

16 First of all, maybe we'll do some quick
17 introductions. Again, my name is Jim Shetler. I'm the
18 General Manager for the Balancing Authority of Northern
19 California. I represent the POUs on the Launch Committee.
20 And, as well, I'm a member of the Formation Committee.

21 Randy?

22 MR. HOWARD: Yeah, I concur. Thank you, Jim, and
23 thank you for having us here today. Randy Howard, General
24 Manager of Northern California Power Agency. We're on the
25 Launch Committee together. We've gone through, I think as

1 Mark earlier, mentioned it's multiple hours per week
2 working on the activities of the Launch Committee to come
3 up with the recommendations.

4 NCPA currently schedules about 86 generating
5 resources into the Cal ISO. We're adding three more in the
6 next couple months. So the Cal ISO and the market are very
7 important to NCPA, and we look forward to sharing a little
8 bit more of our interests in the broader market and some of
9 the issues that have taken place over the years.

10 MR. SHETLER: Evie?

11 MS. KAHL: I'm General Counsel and Chief Policy
12 Officer for California Community Choice Association. And
13 CalCCA represents the interests of 25 CCAs that are load-
14 serving entities serving the consumers in their community.
15 And the operations are overseen by local government
16 authority, whether it's a city, a county, or a joint powers
17 authority, which makes it unique. Unlike the POU's,
18 however, we don't have wires. So the energy market is a
19 much larger part of our business focus for that reason.

20 Today, the CCAs are about 37 percent of the load
21 in the IOU service territories. On the CAISO, we're about
22 32 percent of that load that's scheduled in every day, and
23 26 percent if you count in all of California's load. So we
24 have a very large interest, and we're happy to be here
25 today.

1 MR. NELSON: Good afternoon. Jeffrey Nelson from
2 Southern California Edison. First, I'd also like to thank
3 you for inviting us here today. It's a very important
4 topic, and it's a great opportunity to talk about why it's
5 so important to us.

6 Southern California Edison is the single largest
7 scheduling coordinator of load, the last I checked, within
8 the ISO's balancing authority. We represent a total load
9 north of 20,000 megawatts, so we have a very strong
10 interest in doing what we can to be as efficient as
11 possible for our customers.

12 I've been a member of the Launch Committee, and
13 before that, the Governance Review Committee, that was sort
14 of the preamble to this, and I had the honor of being
15 appointed to that by the ISO's Board.

16 So we really look forward to discussing this
17 today. It's a very important topic.

18 MR. SHETLER: I thought I'd kick off with a
19 series of questions for the panel, and then, obviously,
20 we'll open it up for more.

21 So in the past, some of you on the panel have
22 opposed moving the ISO under an independent governance
23 structure. What in your mind has changed to allow Pathways
24 to move forward with a stepwise governance proposal?

25 And Randy, I'm going to kick off with you on

1 that.

2 MR. HOWARD: It's because I partnered with labor
3 and opposed the last three efforts of moving into an RTO,
4 and for some of the same reasons you heard earlier from
5 Mark's presentation, but also for some other reasons.

6 And some of the other reasons were, certainly we
7 didn't want to just hand over the entire -- the keys and
8 the facility and all the resources that we've invested in
9 for all the years of the Cal ISO to the broader West and
10 not have an ability to pull back if something wasn't
11 working where everyone else had that ability. So that was
12 a really challenging concept for us in the previous
13 efforts.

14 But we also struggled at the time because we had
15 invested a lot in generation facilities. We owned and
16 operated those generation facilities and we built them to
17 California's environmental requirements, meaning we had
18 done lots of additional emission controls. We used
19 reclaimed water. We had preserves for butterflies, for
20 garter snakes. We did a lot of activity. And what it
21 meant is our facilities probably weren't very competitive
22 in the broader West-wide market. Our facilities probably
23 would have been stranded under some previous years.

24 A lot has changed since then. And resources are
25 tight in some cases and in other times they're not. But

1 this effort is certainly different. The way the structure
2 has been laid out, the way it's being proposed is much more
3 to the level that we would like to see where we phase it
4 in, we work together, we build that trust similar to what
5 we've done in the WEIM activity. We think that's the right
6 approach. And we think what's been proposed takes a good
7 balance of that going forward.

8 MR. SHETLER: Jeff or Evie, anything you want to
9 add?

10 MS. KAHL: Yes, I'll add that CalCCA was neutral
11 last time around in 538, and that was because the CCAs
12 couldn't come up with a unified position. But since that
13 time, I think there are a few things that have moved us in
14 the direction as an organization of being very supportive
15 of this.

16 And the first one is affordability. It's one of
17 our biggest issues in California, one of the biggest
18 problems we have. And we all talk about the fact that
19 there's no silver bullet for affordability and we're going
20 to just have to put together a number of measures that
21 gradually bring down rates. And we think, based on the
22 results we've seen from the WEIM, that this will have
23 substantial benefits to consumers. And in fact, it may be
24 one of the biggest affordability measures out there. So
25 that's been very, very influential in our thinking.

1 It's also been an education process and focusing
2 on the new design, as Randy said, of this measure rather
3 than the old design, you know, the whole-hog approach to
4 regionalization.

5 So I think those two factors have really brought
6 us around as an organization to support.

7 MR. NELSON: Since a historic position is a
8 little more complicated, we have been supporters of trying
9 to find a way to get a larger regional market, even all the
10 way up into an RTO, from way back in the process, because
11 we recognize not only the efficiencies of our design, but
12 particularly in contrasting to how the prior to EIM or
13 WEIM, how the outside world operated and the tremendous
14 inefficiencies in sort of the contract path scheduling, and
15 I call it a series of toll roads, to get anywhere.

16 And we saw the great efficiencies that were being
17 added through the ISO's market of, I'll call it, an open
18 interstate highway where you could travel anywhere for
19 free. And we wanted to see that happen larger within the
20 region. So we've been pretty supportive of regionalization
21 efforts.

22 Then it got a little more complicated as
23 governance started to evolve with the EIM, that there
24 really was a disparity or a disparate situation between
25 some of the people that were joining the market voluntarily

1 that had the chance to just say, well, I tried it, I didn't
2 like it, versus those that were institutional in it or part
3 of it where this is it, this is our home, we live in this
4 market, we can't just leave. So that made us be a little
5 more concerned on how governance was evolving to make sure
6 that we represented different constituents properly.

7 But the whole time we've been very supportive of
8 finding ways to get as big of a market and good governance,
9 a good treatment as we could. I made a presentation way
10 back when, even before EIM started, we realized the
11 difficulties of as we're transforming our grid to the new
12 sort of resources, you can't do it alone. You can't
13 integrate all this renewable energy on your own. You need
14 a bigger footprint. And I quoted Benjamin Franklin, that,
15 "Either we'd hang together or surely we'll hang
16 separately." And that's still our belief. The benefits we
17 get from integrating all sorts of the new resources we're
18 doing, the reliability we get, the environmental benefits,
19 of course, affordability is top of the list, but we want to
20 do it in line with our policies.

21 So this is a great breakthrough. This is a way
22 of getting that structure, getting everyone the benefits,
23 getting proper governance, recognizing that California is
24 uniquely situated in certain ways, and recognizing that our
25 partners out there are uniquely situated. So it really

1 feels like we found the answer. We cracked the nut. We
2 have a way of moving forward with this. So we're really,
3 really excited about how we've got these breakthroughs.

4 MR. SHETLER: Thank you.

5 So my next question is this. So as denoted in
6 the prior discussions, the Launch Committee was made up of
7 a fairly diverse and broad group of stakeholders with very
8 differing views on what independent governance might look
9 like and what the end shape of a regional organization
10 should be. What did you view as the glue that kept this
11 diverse group together and focused on a consensus
12 recommendation?

13 And Jeff, since you ended, I'm going to start
14 with you.

15 MR. NELSON: I think, as I was describing, all
16 the members of the Launch Committee had that common vision
17 that we are stronger together, that we will all benefit.
18 If we work together, we are all going to benefit and the
19 region is going to benefit through our cooperation. And
20 people were sincerely committed to that from all these
21 different angles. Every study we see says that's going to
22 provide the benefit. We see it operationally. We hear,
23 time after time, stories where having this diversity has
24 allowed the grid to find ways out. It's led it to see how
25 the flows are really working and sort of showing that it

1 really is a superior way than that old basis that's used.

2 So there's a true commitment by everyone. They
3 saw the benefits. They believe the benefits and we're
4 committed to find a way forward. It's a great cooperation.

5 MR. SHETLER: Evie?

6 MS. KAHL: Yes, I think another factor was the
7 backdrop of the regulators. They got the ball rolling and
8 really were guides throughout the process and that helped
9 keep it all together. There were regulators from many
10 different states, and so that was a good part of the glue.

11 But one other part from our perspective was we
12 realized this is probably the last chance. If we don't
13 land at this time, we may not get another chance. We
14 failed in California to do any kind of regionalization over
15 the past 10 years, you know, other than what the CAISO has
16 already done with WEIM and EDAM. But if we don't get it
17 done now we can put it to bed for the next 10 years.

18 You know, it's a trust matter. And I don't think
19 the rest of the West will trust us if we can't get through
20 this. And so I think from the California side, there was a
21 real dedication to making sure we landed.

22 MR. SHETLER: Randy, anything you want to add?

23 MR. HOWARD: Sure. From my perspective, I was
24 just so humbled being with the group because it was an
25 extremely talented group of individuals, so diverse in

1 their backgrounds, diverse geographically. Many, I had
2 worked with over the years, some sitting on the same side
3 of the table, some sitting on the opposite side of the
4 table, but extremely talented.

5 And so I think I personally valued inputs from
6 everybody, but it was a push-pull all the time. We didn't
7 totally agree on approach but I think we defined our
8 boundaries, as well, pretty early on. So we kind of knew
9 where those boundaries were but stayed focused on the end
10 game and tried not to go beyond those boundaries too much
11 because we recognized that there was specific interest.

12 So, again, it's just an extremely talented group
13 of folks. Many that had made attempts in the past. We've
14 worked through a number of issues and so took all that
15 learning from those efforts. As well, I think there was a
16 good study early on looking at other RTOs and what was good
17 and what wasn't good in those, what we liked and didn't
18 like, and trying to bring some of those concepts forward to
19 say, here's a better way to do it or here's where they've
20 shown how it's being done, that we kind of like that
21 example. And so just trying to utilize what we could out
22 there, as well, I think made it very, very helpful.

23 MR. SHETLER: Thank you.

24 So some of you have touched on this already but
25 interested in understanding from your perspective, what are

1 the benefits that you think your constituents will see of
2 public independent governance over the WEIM and the EDM?

3 And, Randy, I'm going to pick on you on this.

4 MR. HOWARD: So for the constituents I represent,
5 which are primarily POU's, so I was also a representative of
6 the POU and the co-op community, we kind of combined those
7 efforts, I serve both within our organization. It's a
8 joint powers organization. So some of the immediate
9 benefits I think are that market efficiency that has been
10 discussed multiple times.

11 But from our perspective, we keep bringing on
12 additional renewable facilities, primarily solar, some
13 solar and battery, and we're getting curtailed frequently.
14 I mean, I have plans in place to curtail my geothermal
15 power plants because paying negative prices doesn't make
16 sense for any duration of time. So that's not a good
17 thing.

18 And so, and it's impacting the affordability to
19 all of our ratepayers because our ratepayers are paying the
20 price of a PPA. Whether you use it or you curtail it,
21 they're paying for it. So the extent in which we can take
22 those resources, we can find an additional or incremental
23 market for those, even if we might not get full value but
24 get additional value, we're going to reduce the cost to our
25 ratepayers.

1 We know that as we continue to build up to get to
2 100 percent emission-free grid, that at least 30, 35
3 percent of our resources on an annualized basis are going
4 to be accessed to the needs of our members. If we can
5 better share those around the West, we're going to reduce
6 the costs. We're going to be able to get there faster.
7 It's going to make more sense in the pace that we move.
8 And it's going to change some of the decisions we make on
9 the types of resources. So for us, we see right up front
10 some real impacts on affordability to us and just the
11 efficiency of the market.

12 What we attempted to do in this process, too, was
13 what are we currently doing in the WM? What are these
14 tools that we could continue to use? How could we continue
15 to use the resources, the expertise of the Cal ISO in this
16 new RO, but still ensure that everybody thought it was
17 still independent in approach? And so we knew starting an
18 entire market from bottom up was years and years out. But
19 I think the team really said, what can we use based on what
20 we have today and use it differently in this new approach?

21 MR. SHETLER: Evie or Jeff?

22 MS. KAHL: Sure. We looked at it as four buckets
23 of benefits, which is, I think, a pretty standard way to
24 look at it. And the first one is the cost savings from
25 dispatch. And I think we've mentioned that already.

1 And then, also, the cost savings from reduced
2 curtailment. CCAs have renewables contracts. When those
3 contracts are curtailed, our customers, as Randy mentioned,
4 pay twice. And in an affordability crisis, that's not
5 acceptable. So the curtailment savings were a driver.

6 Reliability is a huge driver, as well. I mean,
7 we're constantly struggling with reliability in this state
8 right now. And, you know, it's been touch and go a few
9 times. But thanks to the ISO, we've managed to stay out of
10 trouble. But we want to continue to stay out of trouble.

11 And we think that having this broader market to
12 draw resources from will be really advantageous because now
13 you have geographic diversity, some weather diversity that
14 you'll be able to take advantage of, and it will keep the
15 CAISO in a position where you're not dialing for megawatts
16 when you're in trouble; right? They will be in the market
17 and available to dispatch when we need them.

18 And then the last one is the environmental
19 benefits. And CCAs have been out there for a long time
20 pushing our way toward, you know, reduced carbon emissions.
21 And one of our focal points has been gas; right? It's a
22 complicated factor in looking at the climate change
23 equation. And we think, and we may hear from Brattle one
24 way or the other shortly, but that there will be some
25 reduction in the operation of natural gas plants within

1 California, which also moves toward our objectives.

2 MR. NELSON: I'm going to take a slightly
3 different angle, but I agree with everything that's been
4 said.

5 What do I see as the benefit for independent
6 governance? It is the key enabler to allow the entire
7 Western United States to operate within a single market.
8 It is the single key to unlocking that potential. And that
9 actually gets multiple things done. Everything that's been
10 said gets better the bigger our footprint is, and every
11 study shows that. So this is the enabler to let that
12 footprint get as big as possible. And I'm still optimistic
13 we can get there. I know some people are in flight with
14 decisions. I still believe that is the vision. And I
15 still think we can get there.

16 It also makes sure that we're all operating in,
17 I'll call it, the new world efficiency of optimal dispatch.
18 We're talking about some of our renewable goals. I've seen
19 numbers estimating that for California, just California to
20 meet its renewable goals, we're going to have to build
21 effectively 7,000 megawatts of new capacity for the
22 foreseeable future, probably for the next two decades.
23 That's just us. We have a lot of other folks that may be
24 adopting similar policies that are going to have to do
25 similar build.

1 We absolutely owe it to ourselves as too light of
2 a word. We must have the most efficient mechanism of
3 utilizing those resources that is available. And the way
4 we can do that is enable a larger footprint using an
5 optimal dispatch. That's the best way we're going to be
6 able to integrate all these resources that are coming. And
7 then that leads to the cost benefits, that leads to the
8 reliability, that leads to the environmental benefits.

9 It also is going to lead to just greater
10 cooperation to the region as we jointly decide how we're
11 going to manage this electric grid 2.0 for the next, I
12 don't know, 50 years.

13 MR. SHETLER: Thanks everybody. Maybe I'll just
14 weigh in a little bit.

15 BANC was the first public power entity to join
16 the WEIM. And as the quarterly reports from the ISO show,
17 we tend to be up on the top of the financial benefits. And
18 I think that's true. We would acknowledge that. And that
19 does help with the affordability.

20 But I think probably the more important issues
21 for us, or at least equally important, are the reliability
22 aspects of this. WEIM has been critical to help us manage
23 in the tight hours in both ways, because we're seeing our
24 units being economically dispatched to support the ISO when
25 they need it, and vice versa, and then we're also seeing

1 the environmental benefits of better dispatch and the
2 renewables, less curtailment of those renewables. That's
3 important to our ratepayers, as well.

4 And so when I look at independent governance, as
5 Jeff mentioned, it's the key to making sure we had the
6 broadest footprint possible. And that broader footprint
7 will bring the benefit to all our customers. So that's why
8 we are really committed to this.

9 Well, moving on here, some have raised fears that
10 the Pathways proposal will be detrimental to California's
11 interests and will detract from California being able to
12 manage its own energy policies. And those of us sitting
13 down here know, we took great pain within the Launch
14 Committee to ensure that individual states retain their
15 policy decision rights and that the governance that we
16 propose with respect to those rights. I'd be interested in
17 your comments as to why you think the fears that have been
18 expressed about impacting our ability to manage our own
19 destiny might not be appropriate.

20 And I'm going to turn to Evie on this one to
21 start.

22 MS. KAHL: Yeah, I don't think it's any secret
23 that CCAs are constantly worried about maintaining their
24 authority, given their odd position in the constellation in
25 California. So it was one of the most important issues to

1 us and probably one of the greatest questions we get from
2 our electeds and our staff at the CCAs is how will this
3 affect our autonomy?

4 And like you, Jim, I feel like we really worked
5 hard on that question in the Launch Committee to make sure
6 that we covered it. And the RO will have an obligation to
7 make sure that it doesn't do anything that's contrary to
8 the interests of any of the participating states. So I
9 think that's a very positive measure, even if it's just a
10 principle that we use as a guide.

11 And in addition, you saw the slide this morning
12 from Marc Joseph's panel that showed all of the
13 jurisdictional items that are not going to be controlled by
14 the RO. The RO is going to control energy markets, that's
15 it. The CAISO retains all of its other authority over
16 other functions.

17 And then if you were looking at that bottom line,
18 it's the panoply of different policies that California has
19 that are, you know, administered by the California Public
20 Utilities Commission that the Energy Commission works on,
21 whether it's renewables, it's the cap and trade, it's NEM,
22 it's, you know, go through the whole list, energy
23 efficiency, all of those things remain within state
24 jurisdiction, as do rates, which is another important
25 factor. So some of these are just naturally state

1 jurisdictional and won't be affected.

2 So I think the combination of those facts got us
3 comfortable with moving forward with this, understanding
4 that, you know, not much will change for us in terms of our
5 autonomy.

6 MR. SHETLER: Jeff, anything to add?

7 MR. NELSON: Well, again, I really had my thunder
8 stolen with the Marc Joseph slide, because that really
9 tells a lot of the story. The core things remain with the
10 PUC. The PUC still determines or California determines
11 what sort of resource mix we want to have, still has
12 control over GHG programs. All of that remains in
13 California. And all the core reliability and operating
14 still remains under the Cal ISO's board; right? So they
15 stay the same.

16 But I think in addition to that, Marc Joseph also
17 was able to, off the top of his head, to talk about seven
18 different benefits. But one of those benefits, because I
19 can't remember all the seven, was stakeholder process.
20 There's still going to be a very -- even under the new
21 market rules, it's not like California is gone. We're
22 going to be very active under the RO and the market rules.
23 And, again, we talked about our unique policy objectives
24 and making sure that's not interfered with or undermined
25 unintentionally the process that we built in there. We

1 still serve a lot of load and we're still going to have a
2 voice in that process.

3 The market is pretty mature right now. We've got
4 a solid, solid foundation and multiple floors built and
5 we're not going to level that or dig it up, we're going to
6 build on that. So we're talking about incremental changes
7 to the market and we will need them. Things are changing.
8 We will need incremental changes.

9 But I'm confident that things that are not
10 clearly under California's jurisdiction, but are a part of
11 the RO's jurisdiction, there's a good process in there to
12 make sure our voices are being heard.

13 MR. HOWARD: Yeah. Many people know I came from
14 Los Angeles Department of Water and Power after 30 years.
15 And I came to Sacramento on a frequent basis and said,
16 leave us alone, local control. So we took that, similar to
17 Evie, into the Launch Committee and really put some focus
18 as to ensuring that each party that participated could
19 continue to have some of their own rules and processes.
20 And we weren't going to try to control that within the RO.
21 There was going to be that autonomy. It's a voluntary
22 market. And if folks don't like something, they're going
23 to have the ability to leave. That's the overall.

24 But, also, having been engaged with the WEM
25 governing body over the years, and I currently chair the

1 Nominating Committee for that group, they're viewed in the
2 West as a pretty independent group. And if people are
3 fearful of this next step, I mean, you just look at what
4 we've been able to achieve with this governing body and the
5 savings and the benefits to the ratepayers throughout the
6 West. This is really that next incremental step. We've
7 been taking these steps safely and incrementally. We're
8 not talking about jumping off a cliff here. We're talking
9 about moving to the next natural evolution to get us to
10 this day-ahead market and continue to build the benefits
11 throughout the West with a larger group of folks.

12 So I just don't see that fear. And, again, take
13 a look at what's going on with current market activities.

14 MR. SHETLER: I think I'll just maybe add a
15 little bit to what Randy had to say.

16 I think from our perspective, one of the things
17 we pushed very hard was the voluntary nature of this market
18 and the fact that it's evolutionary change and that each
19 entity will still have the ability to decide what they want
20 to participate when they want to participate. And I think
21 that's a key feature of what is being proposed by the
22 Pathways Initiative.

23 The next question I had, I think maybe we've kind
24 of addressed, which is, do you think California issues will
25 continue to be heard and addressed? But I don't know

1 whether anybody wanted to add to that.

2 Evie?

3 MS. KAHL: Yeah, I thought about that a lot.
4 CalCCA participates in some of the CAISO stakeholder
5 processes and has felt heard. You know, CAISO doesn't
6 always agree with us, but I think we very much feel heard.
7 And I think the stakeholder process that we're building for
8 the RO is going to be every bit as robust and, you know,
9 may push further than that. So I think the stakeholder
10 process will ensure a voice.

11 But I think the one thing I want to say is, if we
12 are successful in all of this, we are going to have to
13 share. We are going to have to dilute our voice, if you
14 will, to some degree. But I think there's confidence that
15 the benefits are out there and there is a great working
16 group together in the region to try to advance the
17 interests of consumers. And that trade, a little dilution
18 for the significant benefits, is well worth it.

19 MR. SHETLER: Jeff or Randy, anything you wanted
20 to add?

21 MR. HOWARD: I do get concerned sometimes of I
22 know how much time and effort we put into the CAISO
23 stakeholder process. And I think, oh my goodness, here we
24 go, we're going to have a much larger, bigger playground
25 that we're going to have to utilize resources and

1 participate. And if you look at the RTOs across the
2 country and the amount of stakeholder processes that go on,
3 it can be a little overwhelming for an entity to think
4 about.

5 But, again, I think, as Evie pointed out, there's
6 going to probably be some gives, but the benefits appear to
7 us to far outweigh some of those potential gives. And,
8 again, I think the way it's been established, California
9 will be able to preserve a lot of the things that we've
10 been working hard towards and actually accelerate those
11 because of the benefit of that larger, broader market
12 opportunity.

13 MR. NELSON: Let's talk about sort of a case
14 example in the development of EDAM. So here where we're
15 trying to make the market much broader, and an issue came
16 up about how is transmission going to work and how is it
17 going to be paid for? And the issue on the table was that
18 currently some entities outside of EDAM, they market their
19 transmission, they have access, they sell it.

20 And the concern was, well, if we join EDAM, we're
21 going to lose that sale. And California had a parallel
22 issue. When we're exporting from our grids, we're paid for
23 that. And if we join EDAM, are we going to lose our export
24 revenues?

25 So it's sort of a case of like, well, is

1 California's voice going to be preserved within this
2 dialogue? And this is without even the stuff we've done,
3 just sort of an illustration of hearing each other out.
4 And both sort of sides, if you will, recognized that the
5 other side had a very valid issue. And the ISO came up
6 with a mechanism to basically, basically, sort of a freeze
7 our make-whole payment for those sort of lost transmission
8 revenues so that we could sort of take that out of the
9 table, not let it interfere with the efficiency of the
10 market, interfere with the access to transmission and make
11 sure that people outside the ISO weren't harmed by
12 participating in the market and California wasn't harmed by
13 expanding the market.

14 So that's just one example of voices. Legitimate
15 issues need to be talked about and there's ways of finding
16 our ways through this.

17 MR. SHETLER: My last question for the panel.
18 What do you see as the greatest challenges in realizing the
19 future frame by the Pathways Initiative?

20 And, Evie, I'm going to pick on you first.

21 MS. KAHL: So when I look at all the technical
22 and mechanical issues that we've been through in the Launch
23 Committee, and I look what's on our plate for the Formation
24 Committee, none of that scares me. We get through it, we
25 work through it. I haven't seen anything that we haven't

1 been able to work through successfully. So it's not the
2 content of what this RO is or what it will do.

3 I think the biggest struggle is some outdated
4 perspectives on what's going on here from a regional
5 standpoint. I think there's a lot of fear that's probably
6 unnecessary given how the process looks and how well we've
7 all been coordinating. And it's putting that away and
8 enabling us to add even more to our voice as we move
9 forward. So I think it lies more in education and getting
10 us all to a common place of understanding than anything.

11 MR. SHETLER: Randy?

12 MR. HOWARD: Well, I think my biggest fear is
13 really that we're not able or successful in bringing the
14 entire West together and we start fragmenting the Western
15 grid and having to deal with significant seams issues
16 between transactions.

17 California utilities, many of us, have invested a
18 lot of money, say in wind facilities along the Columbia
19 Gorge or other places up in the Pacific Northwest, and then
20 in the Southwest, as well, and having to deal with large
21 seams issues and the complexities that would go with our
22 transfer of some of those resources back to California. I
23 get concerned that if we do not move or move fast enough or
24 with enough structure of that independence that we're going
25 to handicap ourselves and our utilities. And that goes

1 right down to our consumers.

2 So that's probably my greatest concern right now,
3 is I think we've laid a good framework, I have faith in the
4 team that's working on these final details, but if we're
5 not able to move quick enough or if we start seeing more
6 fracturing in the West, I think we have some bigger
7 challenges.

8 MR. SHETLER: Jeff?

9 MR. NELSON: The key to enabling success is
10 independent governance. It's a key. And the key to
11 enabling independent governance is legislative reform. So
12 that is just, to me, that is the only hurdle. We must
13 clear that hurdle. And then once we have cleared that
14 hurdle, none of the technical issues scare me.

15 I do agree with the hopefully others will adopt a
16 mindset of seeing that this is the right thing to do, t
17 he change is legitimate, the change is permanent, and as
18 far as we set up an RO, it's a real entity. And we will be
19 able to keep the grid together once we cross the hurdle of
20 getting to independent governance.

21 MR. SHETLER: Maybe I'll close out. From my
22 perspective, I look at the challenges in front of us. And
23 I agree with Evie. I think the technical part is
24 challenging the easy part.

25 I think the issue for us in California and the

1 rest of the West is how do we rebuild the trust and the
2 confidence in each other? I think we've come a long way
3 from where we were three or four years ago, but there still
4 is that lack of trust, the uncertainty. And I think one of
5 the challenges we have is how we in California can prove to
6 the rest of the West that we're willing to reach out and
7 we're willing to do our fair share in this to make this
8 happen. Legislation is a key piece of that. But I think
9 it's also showing our willingness to move forward with this
10 initiative.

11 And with that, I think we're open for other
12 questions.

13 VICE CHAIR GUNDA: Thank you. I think I have
14 just a couple of questions from, you know, from the dais
15 here. And I'm guessing we might have other questions.

16 But given that this keeps coming up, especially
17 in terms of the importance of it around the autonomy of the
18 states in defining their policies, I just wanted to ask,
19 you know, President Mainzer, how does CAISO within the
20 services of markets today, and also the day-ahead markets
21 within California, how does CAISO currently ensure the
22 autonomy of the participants today?

23 PRESIDENT MAINZER: Well, I think first and
24 foremost, just looking at the statutory basis in
25 California, I mean, all of the vested authorities for long-

1 term load forecasting, for integrated resource planning,
2 for resource adequacy administration, for procurement, they
3 are vested by statute either in the California Public
4 Utilities Commission, the Energy Commission, or other local
5 regulatory authorities.

6 And I think when I, I know just the last few
7 years, recognizing the importance of this issue, and
8 remember coming in from more of a public power context
9 where local autonomy, local self-determination, local
10 control were always so important to my previous role, I
11 recognize this is exactly, almost, the very same thing here
12 in California and in other states.

13 And so, as you know, Siva, we've worked closely
14 together in the last few years through the Memorandum of
15 Understanding to really codify as clearly as possible those
16 requisite roles, responsibilities, and statutory
17 authorities. And then to the extent to which we have
18 responsibilities for market administration or transmission
19 planning, we just really explicitly honor those things and
20 recognize that there's state-level jurisdictional issues.
21 And our -- and as we talked, we're really -- it's becoming
22 a little bit of a colloquialism, but, you know, the
23 Department of Physics and Economics, right, that's our
24 role. We're going to -- we're basically going to
25 efficiently dispatch these resources.

1 And I guess I would conclude by saying that same
2 basic principle also applies not only over the last 10
3 years, as we've built out the Western Energy Imbalance
4 Market, remember, this is a market now that covers another
5 11 states and a Canadian province, and we've been able to
6 successfully operate that market and create over \$6.5
7 billion of benefit for consumers without having any level
8 of determination of the resource choices of any of those
9 other states either.

10 So that's the principle. And I think Alice said
11 it early, you know, I think as you guys in the regulatory
12 community really sat down, you said, boy, we all have these
13 common shared interests, reliability, affordability, and
14 self-determination. So we just really honor that, I think,
15 in the day-to-day operation of the system.

16 VICE CHAIR GUNDA: That's great. Thank you. And
17 I think it's important, as we think about the development
18 of the RO and the importance of that, some of those
19 principles are currently honored and then we continue to
20 take them into a more independent stance.

21 I think a couple of kind of a compound question,
22 I think, for the panelists.

23 And before I ask the question, thank you for your
24 time today. And thank you for your time on the Launch
25 Committee. Again, Randy, Evie, and Jeff, I got a chance to

1 become, I guess, friends now. I know, Jim, we all get to
2 call each other and talk about important topics more so.
3 And those are some of the intangible benefits of these
4 kinds of work when you get to know each other and solve
5 other things as a part of that.

6 So I think the compound question is, you know,
7 one of the things we're hoping to do today as in this forum
8 is to openly put out, you know, what our kind of
9 perspectives are. And especially given some of you have
10 looked at this differently, given the changes in the
11 proposal and then coming to this in a more supportive
12 manner, if we could, for the record, you know, put together
13 like, you know, your comments on what do you think are the
14 benefits and risks? You already said that, you know, but
15 just even on the risk side, what are some of the risks you
16 see and how do we ensure that we manage them and make sure
17 that we voice them as we go forward in this process?

18 And two, given that, you know, one of the
19 benefits of the markets is resource optimization, how do we
20 think about continuing to build; right? So like we ensure
21 building those diverse resources and adapting our build
22 rates as we go forward. So I'd love to hear from you on
23 both these pieces.

24 MR. SHETLER: Jeff?

25 MR. NELSON: Well, risks, I think the biggest

1 risk is that we're not able to move forward with
2 independent governance. And that will, in my mind,
3 guarantee fragmentation of the markets within the West.
4 And that has a compounding downward effect on -- I think
5 that would inevitably lead to the demise of the EIM because
6 people, I think more and more people, believe they need to
7 be in a marketplace. Very much the largest risk I see, if
8 we're not able to move forward, we move backwards.

9 And then, I'm sorry, the other one was, how do we
10 incorporate this within all the build-out that we're doing?
11 I think that was the question. I'm not prepared to answer
12 that one. That's, yeah, I'm pretty technical, but that's
13 the real planning and modeling thing. But having the
14 market that efficiently dispatches physics and economics is
15 a precursor. We have to have that under any situation.
16 And then at least we have both physics and economics to
17 help guide us in those decisions.

18 MS. KAHL: So I'm going to say one of the risks
19 out loud that everyone talks about, which is what if the
20 federal government does something crazy? How does that
21 affect our situation as California in the RO? And we've
22 given that a lot of thought because that question comes up
23 internally, as well.

24 And I think the first point is the CAISO is
25 regulated by FERC and the federal government today. So

1 this isn't new, that we are facing federal regulation. The
2 RO, like the CAISO, will be a federal creature. So there's
3 really no change when you look at it from that perspective.

4 The other thing that gives some comfort is every
5 RTO or every market has some type of withdrawal right. And
6 if you engage in the market and something goes crazy, your
7 state will have the right to direct withdrawal by certain
8 market participants. So it's not like you have no remedy
9 if things do go crazy. There is withdrawal. It's a right
10 that exists today. It's a right that will exist in the RO
11 governance documents.

12 So I think that gives me comfort, as well, that
13 we're all afraid of what might happen, but there are some
14 remedies available.

15 MR. HOWARD: So of my membership, I have members
16 that have their assets within BANC. I have members and
17 assets that are within the CAISO. I have a member that's
18 in NV Energy. So three different balancing authorities.

19 As I was talking to Commissioner McAllister
20 earlier, you know, an immediate opportunity, too, is, you
21 know, we have an opportunity here. We're going to take all
22 the various balancing authorities of California and
23 potentially bring them into a common market. And that's
24 pretty incredible in itself, right, because it's still
25 voluntary in nature and years of fighting to prevent that

1 have taken place. So incredible opportunity for us going
2 forward.

3 And the risk is if we don't get this moving, you
4 know, the POU community and the other balancing authorities
5 don't have the same restrictions as to their ability to
6 join a market. And I can guarantee you that they will move
7 to a market if we're unable to do one jointly with the
8 CAISO. And so I'd hate to see that happen. And that's
9 probably one of the biggest risk right now is if we're
10 unable to move quickly enough that some of the other
11 balancing authorities, even within California, will choose
12 to move.

13 MR. SHETLER: So from my perspective, probably
14 the biggest risk is doing nothing. I think we've sat
15 around and talked about how do we regionalize, how do we
16 work together better, for decades. I've been around too
17 long. I've seen too many of the permutations. So I think
18 that is the biggest risk and my biggest fear.

19 As far as building it in, I think in my mind, one
20 of the answers to that is, as we on the Formation Committee
21 are working with the ISO and talking about how do we
22 structure this going forward, and what is the working
23 relationship between the RO and the ISO, we need to build
24 that thinking into that and how that would work together.

25 VICE CHAIR GUNDA: Thank you.

1 Anybody else from the dais before we -- okay.

2 Jake?

3 MR. MCDERMOTT: Thank you, Vice Chair.

4 So anyone in the room who would like to ask a
5 question to the panel, please use the Zoom Q&A feature or
6 pick up a yellow question card from the table at the back
7 of the auditorium.

8 In the meantime, I have a couple of questions
9 here that we can run through.

10 The first is, I think for Evelyn, this kind of
11 came up on the earlier panel, but can you talk to us a
12 little bit about how CCAs are represented in Pathways and
13 on the Launch Committee and kind of what the role is of the
14 CCAs in this process, writ large?

15 MS. KAHL: I think I want to start by saying CCAs
16 in this process are not a lot different than the IOUs in
17 the sense that they have the same interests. We're all
18 around this table, load-serving entities with customers to
19 serve reliably and at reasonable costs. So there, you
20 know, there, our interests aren't that different,
21 particularly the POUs.

22 And I have been on the Launch Committee. So CCAs
23 have been represented through CalCCA on the Launch
24 Committee. CCAs will be represented through CalCCA on the
25 Formation Committee, as well. I think today, we

1 participate in CAISO stakeholder initiatives and we'll
2 continue to participate in RO stakeholder initiatives.

3 So I don't have -- we also have a -- within the
4 stakeholder process, there are sectors and we will be a
5 part of a sector that has four seats and those four seats
6 will include POU's, CCAs, co-ops and PUDs. So we will be
7 sharing those four seats, but there's certainly room for
8 everyone there. So I don't have any concern that we won't
9 be included or represented in any of this.

10 MR. MCDERMOTT: Thank you.

11 The second question I have is also from earlier
12 today. So there was a question in the chat around a slide
13 from Carl Linvill's Intro to Pathways presentation. I
14 wanted to kind of kick it to this group for an answer.

15 There's a slide on governance that says, "The RO
16 will have a seven-member board from any state nominated by
17 committee. What committee is this and who approves these
18 nominees?"

19 MR. SHETLER: So the committee we're talking
20 about is a Nominating Committee. It will be a
21 representative from each one of the sectors that Evie
22 mentioned. Each sector will have a representative on the
23 Nominating Committee. They will identify a slate of
24 candidates, depending on how many seats are up for
25 election, that will be turned over to the board, the RO

1 Board, and the RO Board will have the final say as to
2 seating that panel or not.

3 This is not a new concept. This whole process of
4 a Nominating Committee and using sectors is what's done at
5 WECC. It's what's done at the Western Power Pool. It's
6 what's done with the WEM governing body and other entities
7 throughout, other similar entities throughout the West. So
8 we tried to draw on existing structures and programs for
9 doing this.

10 MR. MCDERMOTT: Thank you.

11 I think that's all I have for questions at this
12 time. Do you have any questions from the dais?

13 MR. SHETLER: I might -- I do remember one or two
14 from this morning, so if you don't mind me just throwing
15 out there? Okay.

16 There was a question raised about as we go
17 through the Formation Committee process of the stakeholder
18 process and how will that be managed? And so I want to let
19 people know that the Formation Committee is well aware of
20 the fact that we still have more work to do on the
21 stakeholder process. And right now our vision is that we
22 would reform that subcommittee or work group and work with
23 the stakeholders on finalizing what the stakeholder process
24 should be and bring forward more final recommendations.

25 MR. MCDERMOTT: I think with that, we will

1 probably end this panel a little bit early.

2 I think we're going to take a little bit of a --
3 maybe a five-minute break to a transition between this
4 panel and the next panel.

5 COMMISSIONER MCALLISTER: Jake, I propose that we
6 just start the next panel sort of time certain as planned
7 and take a little bit of a longer break now.

8 MR. MCDERMOTT: Sorry. Say again?

9 COMMISSIONER MCALLISTER: Take a little bit of a
10 longer break now and start time certain the next panel.

11 MR. MCDERMOTT: Oh, yeah.

12 ADMINISTRATIVE LAW JUDGE LOCKER: Yeah.

13 MR. MCDERMOTT: Then let's meet back at, I think
14 it's 2:15 is the start of the next panel. Thank you.

15 (Off the record at 1:55 p.m.)

16 (On the record at 2:16 p.m.)

17 MS. NAKAGAWA: All right, we're just about ready
18 to get started. Just a reminder, we are going to have
19 public comment period scheduled for later today. And if
20 you do want to make a public comment, please, raise your
21 hand on Zoom, or if you're here in the room and cannot
22 access zoom for some reason, you can use a blue card and
23 recording in progress. The CEC staff are seated at the
24 back table, and that will let us know in advance that you
25 would like to comment. And just since we started the

1 recording those on Zoom, when we get to the public comment
2 period we will be using the raise-hand feature.

3 All right, I'm going to turn it over to Jake
4 McDermott to facilitate our next and final panel.

5 MR. MCDERMOTT: Thank you, Sandra.

6 Hi. Welcome back folks. So we're going to have
7 this last research panel, where we have our consultant from
8 the Brattle Group, along with a presentation from Stanford
9 University. Each will take about 20 minutes.

10 So first we'll hear from John Tsoukalis, who's a
11 principal at the Brattle Group, whose team has done some
12 phenomenal research on modeling a lot of these questions
13 around markets throughout the West.

14 So without further ado, John, I'll pass it over
15 to you.

16 MR. TSOUKALIS: Hi. Thanks for having me.
17 Thanks, Jake, for the introduction.

18 Let me share my screen. All right, well, thank
19 you. Let me go ahead and jump right in.

20 This is our preliminary markets impact study that
21 we conducted on behalf of CEC. I say preliminary here
22 because, you know, we're offering this today with the hope
23 of getting feedback and input on, you know, the assumptions
24 we used and what we analyzed so that we can refine this in
25 the coming weeks, potentially, if CEC feels like they want

1 to do that.

2 So kind of jumping right in, we heard a lot today
3 about markets and the impacts and benefits that they have,
4 but I want to take a moment to just talk through kind of
5 the dynamics we anticipate to see when markets either form
6 or expand and what kind of outcomes those have for
7 customers. And ultimately, you know, why are we doing this
8 study? Why do we analyze this question?

9 And the key reason here is that, you know, we
10 anticipate benefits will depend on the size and diversity
11 of the EDAM footprint. So as more entities elect to join
12 the current participants in EDAM, we anticipate, you know,
13 accessing more benefits through the market for customers in
14 California and the other parts of the EDAM. And as we
15 know, right, there's other market options in the West and
16 folks have, you know, been studying those and looking at
17 what options they have. So the kind of drive to expand the
18 EDAM to a larger footprint is likely going to create
19 benefits for California customers. And that's what we're
20 trying to assess here is how do benefits grow as the market
21 footprint potentially grows.

22 We calculate 2032. So, you know, a question we
23 commonly get is, you know, what study years do we look at
24 and why? We calculate 2032 with an eye towards looking at
25 a year that's, you know, close enough into the future so

1 that we're not really speculating on resource mix or
2 transmission that's getting built; right? We have a pretty
3 good sense, given the utility planning cycle and building
4 cycle, how long that is in our industry, we have a pretty
5 good sense of what 2032 is going to look like. And we use
6 forecasts from, you know, the latest CAISO TPP and utility
7 IRPs from across the West to inform our modeling
8 assumptions based on that, as well as load forecasts in
9 those IRPs.

10 So as markets grow, you know, what are we
11 actually -- what are kind of the dynamics that we see
12 playing out and how does that impact customers?

13 So the first thing, you know, that we often talk
14 about is that a larger market means a larger and more
15 diverse pool of transmission and generation resources. And
16 what that means is, you know, because we have a larger pool
17 and a more diverse pool, the market is able to more
18 effectively shift from less efficient resources to more
19 efficient resources; right? That is what the market does;
20 right? It finds the lowest cost resource that can serve
21 load in every given hour. And that leads to production
22 cost savings for customers. So that's a kind of a clear
23 efficiency gain that's going to, you know, positively
24 impact customers and create a savings for them.

25 It also creates a potential environmental

1 benefit. And I say potential here because, right, the
2 market finds, like I said, the lowest cost solution. It
3 doesn't necessarily find the cleanest solution. So there
4 are going to be instances where, you know, markets, you
5 know, may or may not reduce emissions. I think it's often
6 just assumed that markets will do this, but that's not
7 their purpose necessarily.

8 Emissions reductions in the West will be driven
9 and continue to be driven by resource planning; right?
10 Retiring fossil fuel resources and replacing them with
11 clean resources is what will mostly drive emissions. I
12 think markets can help slightly, and they will also affect
13 the distribution of emissions on the system, but they won't
14 necessarily drive emissions reductions on their own; right?
15 You need that resource planning and that, you know,
16 retirement of thermal assets to do that.

17 Better management of extreme weather events,
18 we've heard that talked about today. That's the
19 reliability benefit of markets. By having a larger and
20 more diverse pool of transmission and generation resources
21 under a single market, the market is able to clear
22 resources and schedule transmission in a way to minimize
23 the impact, both financially and from a reliability
24 standpoint, of these kind of extreme events or unexpected
25 events. And we already see that happening today in the

1 WEIM; right? The regional market in the West today on a
2 real-time basis already helps move power around the system
3 across the entire West when there are these kind of extreme
4 events. And EDAM will just kind of deepen the market's
5 ability to do that.

6 But we also see certain things, right, the
7 revenue streams that will potentially decline or dry up in
8 markets. I heard on the last panel, Jeff from Southern
9 California Edison was talking about, you know, export
10 revenues and things like that. We don't want to be blind
11 to potential market revenues that may be adversely impacted
12 if you join a market.

13 One of those is short-term transmission service,
14 potentially; right? Today, utilities sell short-term
15 transmission service to third parties and to other entities
16 to execute transactions. If that transmission is donated
17 to a market like EDAM, you may be able to sell less of that
18 revenue in the future. That's offset by the EDAM TRR
19 settlement, which we can get into the details of, and we do
20 account for that in our study, but it may not be fully
21 neutral for load. And so, that may actually be a cost
22 increase that you experience from joining a market.

23 The next kind of big dynamic we see in markets,
24 of course, is reduced curtailments. We've heard a lot
25 about that today. And that's, again, driven by the, you

1 know, adding more transmission to the system to allow to
2 access, you know, the market to access that transmission.
3 Adding more diverse load to the market helps the market
4 reduce curtailments. That, of course, translates to an
5 environmental benefit; right? If you can avoid curtailing
6 renewables and dispatch fossil generation less, there's a
7 clear, you know, unambiguous environmental benefit to that.
8 But also, of course, there's a lower power cost for
9 customers; right? Renewable energy that's curtailed is
10 just wasted, whereas if it's avoided, the curtailment, we
11 can utilize that zero variable cost energy.

12 But also, we heard about this in the last panel,
13 too, right, there's a kind of -- by reducing curtailments,
14 we also create a better investment environment for
15 renewable projects in the state and in the broader region.
16 So, you know, through contract arrangements that help some
17 of that, you know, benefit flow back to customers, or as
18 new projects come on the system, we see, you know,
19 potentially better, you know, prices for customers
20 negotiating new contracts for new resources. So that kind
21 of better investment environment also creates customer
22 savings, you know, either in the near or long term.

23 Then lastly, we see a lot more trading between
24 market entities; right? So as the market grows, we see
25 trading volumes increase. And we, again, have already seen

1 that in the WEIM today, but in EDAM, we anticipate that
2 that will get, you know, deeper and broader and larger. So
3 that increased trading between members does mean that
4 you're going to be doing less bilateral trading; right?

5 So selling power at Palo Verde today, for
6 instance, or other points across the West, we see that that
7 reduces as the market forms because the market finds more,
8 you know, efficient trading inside of its own boundary.

9 And so you do lose some of that bilateral trading revenue;
10 right? That's some of the export revenue that I was just
11 talking about. So we do account for that in our study as
12 well. We want to see, you know, if the impact of losing
13 some of that bilateral trading revenue is larger or smaller
14 than the efficiency gains and the production cost benefits
15 that we get from the market itself.

16 And then lastly, because of the increased trading
17 volumes inside the market, we do see increased market
18 congestion and transfer revenues. Today, any member of the
19 EIM collects congestion revenues, you know, or the CAISO
20 collects them, I should say, and allocates them to members.
21 In the EDAM, we anticipate those revenues will be much
22 larger; right? Just because of the volume of energy that's
23 cleared day-ahead and sold into the day-ahead market, we
24 anticipate a much larger congestion revenue collection and
25 allocation back to members. So that's a customer increase

1 or cost savings that you see in a market that you don't see
2 if you're just executing a bilateral transaction.

3 So this kind of gives you some sense of the
4 dynamics that we see happening in a market and how that,
5 you know, directly relates to customer outcomes. But it's
6 not a comprehensive list. Of course, there's just a few
7 things to get, kind of set the table for why we see
8 benefits, but there's lots of other things that go on in
9 the market. But it does highlight kind of the three
10 pillars of benefits, which are, you know, customer savings,
11 environmental, and reliability that we're going to talk
12 about throughout the rest of the presentation. We're going
13 to look at each one of those benefits throughout, you know,
14 in the next 10 to 15 minutes.

15 So we looked at four different possible market
16 footprint scenarios. We simulated four different cases in
17 modeling terms. And kind of going from left to right
18 across the slide here, you know, we see an increasing kind
19 of EDAM footprint across the first three scenarios. The
20 first one, what we call our baseline scenario or baseline
21 case, just includes the approved EDAM entities. So that's
22 what the dark blue circles here on the map represent.
23 Those are the entities that already have signed
24 implementation agreements with the EDAM. And then everyone
25 else that's in light blue here, they're just in EIM, as

1 they are today; right? And the yellow is kind of the RTO
2 West, SPP's RTO West, and the SPP's Energy Imbalance
3 Market, which is called the WEIS. We represent those, as
4 well, although they're quite far from California, so their
5 impact is minimal.

6 And then you can see as we go to the baseline-
7 plus case, right, we add in the dark blue circles here the
8 entities that have announced that they are going to join
9 EDAM. But they have not yet, you know, implemented an
10 implementation agreement. That may be because they need to
11 seek approval or other process or they're still kind of,
12 you know, executing the last approvals they need. But
13 there are folks that have announced that they're going to
14 come to EDAM, and that includes Idaho Power, NV Energy, and
15 Public Service New Mexico.

16 And then the next case we call our expanded EDAM
17 case, which is meant to represent kind of the maximum EDAM
18 potential, which is what if we got almost all of the West
19 to join EDAM with the rest of the entities that have
20 already announced.

21 And then, of course, the last case is what we
22 call our split market case. The orange circles here
23 represent folks that choose to go to Markets+ in this
24 scenario. So this is the case where we have fragmentation
25 in the West. And I will say, this is a tough case to kind

1 of simulate because a lot of the impact on customers in
2 this case will depend on how the two markets interact and
3 how efficient trading across the market seam is going to be
4 in a case where we end up with two markets.

5 I will say, for our study here, we have assumed a
6 relatively efficient seam, you know, even more efficient
7 than a bilateral trading seam that exists today. So we do
8 see, you know, a significant amount of economic
9 transactions happening across the market seam. And we'll
10 see how that impacts the results in a couple slides.

11 But this is an area where we're certainly welcome
12 to a lot of feedback. I know that there's a, you know,
13 debate about how much, you know, cooperation on seams
14 there will be between the markets and that we haven't
15 really gotten there yet in the conversations in the West.
16 It could range all the way from, you know, true company-
17 optimization of the seams to something that is, you know,
18 less, let's say, less cooperation and coordination between
19 the markets that makes it really cumbersome to trade
20 between the markets. And, you know, that kind of extreme
21 outcome would have an adverse impact on customers in both
22 markets, including in California. And we haven't really
23 simulated that case where there's minimal cooperation and
24 trading between the markets.

25 So let's jump into benefits. The first slide

1 here with benefits across the bottom, I'll draw your
2 attention to the arrows across the bottom, where we
3 indicate the dollar amounts, that we see as we go from our
4 baseline case with just the kind of approved and signed
5 EDAM commitments case, to our baseline-plus case, to our
6 expanded markets case.

7 We can see that going all the way from baseline
8 to expanded markets case creates almost \$800 million of
9 benefits for California customers. So these come from the
10 efficiency gains from the market congestion revenues offset
11 by the losses we talked about a few slides ago. When you
12 net all of that together, you get an increase of about \$800
13 million per year for California customers. If we're just
14 looking at kind of the baseline-plus case, which has the
15 likely EDAM commitments relative to the expanded markets
16 case for expanded EDAM case, it's almost \$700 million in
17 benefits per year.

18 One thing I would point out here is neither of
19 these numbers is really an estimate of the benefits of EDAM
20 forming because, keep in mind, in our baseline case, we
21 have EDAM already, right, so we have a small EDAM
22 footprint, right, just the folks who have signed
23 agreements, but we still have an EDAM case. So I would
24 make sure folks understand here that when we see this \$800
25 million per year number, we shouldn't interpret that as the

1 benefit of EDAM forming to California. It's the benefit of
2 EDAM expanding from what we simulate in the baseline case
3 to what we have in the expanded EDAM case. So the total
4 benefit of EDAM forming is a different number and
5 presumably larger number than the \$800 million we have
6 here.

7 And then looking at that split market case, what
8 we've done is we compared it against the baseline-plus
9 case. And the reason is because the EDAM footprints remain
10 the same between those two cases; right? The only
11 difference between the baseline-plus case and the split
12 market case is that we have Markets+ forming in that split
13 market case. And what we see is there is a slight benefit
14 actually to California customers from Markets+ forming, but
15 it is about \$500 million less than the expanded EDAM case.
16 So what we're seeing here is there's about a half a billion
17 dollars that's lost relative to growing the EDAM footprint
18 across the West when Markets+ forms.

19 And I know a lot of folks will see the result of,
20 you know, an actual -- a slight benefit from Markets+
21 forming, and they might find that counterintuitive. And I
22 say a couple of things to that. I think, as I talked
23 about, the biggest driver as to why we see that result is
24 the assumption we've made about how the markets -- you
25 know, how efficient it is trading across the markets and

1 how costly it is or cumbersome it is to trade across the
2 market seams. So that's one of the big drivers of that
3 result. If we were to test a scenario in which trading
4 across the market seam was much more, let's say, costly or
5 inefficient or cumbersome to do and execute transactions,
6 meaning fewer transactions actually happen, we might see a
7 different result for California customers.

8 And there are other assumptions we think, too,
9 that drive some of that benefit, you know, which we have
10 listed here. And those are all good, I think, you know,
11 areas for thinking about potential refinement of this work
12 or sensitivity tests down the road. So those are economic
13 benefits.

14 You know, the other thing we don't talk about
15 here, like I said, we haven't touched on, yet,
16 environmental or reliability benefits, so we're going to
17 switch gears and talk about that now.

18 From an environmental perspective, we do see,
19 like I said, I want to reiterate what I said at the
20 beginning, right, emissions are ultimately driven, you
21 know, and the trend for emissions across the West will
22 ultimately be driven by resource, you know, investment
23 decisions. And I should point out the emissions we see in
24 all four cases we simulate, right, regardless of what
25 market footprint we have in our four cases, our emissions

1 in our 2032 simulation are significantly less than they are
2 today, right, because the trend in the West is for lower
3 emissions as more renewables come on the system and thermal
4 resources are either retired or, you know, dispatched at
5 lower amounts. So we see in all four of our cases
6 emissions are significantly lower than where they are today
7 in the West.

8 But as we move across market footprints, the
9 distribution of those emissions reductions that we see
10 relative to today will change. And I have three charts up
11 here to kind of point out three different things in our
12 simulations that we see.

13 The first one on the left here, the big dark
14 green bar that we see below the zero axis represents gas
15 generation. And you can see, we're comparing here the
16 expanded EDAM case to the split market case. The expanded
17 EDAM case, we see a 30 percent reduction in gas generation
18 inside of California. So this chart is just showing
19 California-wide generation relative to the baseline-plus
20 case. So by expanding the EDAM from that baseline-plus
21 footprint to the expanded EDAM footprint, we see a 30
22 percent reduction in gas generation inside of California.

23 And I can tell you that that generation reduction
24 from gas resources is kind of, you know, broadly
25 distributed across the state. We don't see certain pockets

1 go up while others go down. Pretty much every gas unit,
2 except for, you know, tiny little, you know, anomalies here
3 and there, but pretty much every gas unit across the state
4 falls. And particularly some of the bigger ones, we see
5 their generation fall by quite a bit in that expanded EDAM
6 case. We do see generation, gas generation in California
7 fall in the split markets case, but by about half as much,
8 okay?

9 The middle chart shows curtailments. And the
10 third bar here is our expanded EDAM case, so you can see
11 from baseline to baseline-plus, there is a tiny reduction
12 in curtailment. But the real movement we see is when we
13 get that expanded EDAM footprint. And then we see about a
14 10 percent reduction of curtailments in California. So
15 California wind and solar resources are curtailed about 10
16 percent less because of the growth of the EDAM footprint.

17 And then in the split market case, we see it go
18 back up to roughly where it was in the baseline case,
19 actually even a little bit higher. So curtailments are
20 slightly higher in that split market case than they are
21 even in our baseline case and baseline-plus case.

22 And then lastly, we look at CO2 emissions.
23 Again, we're comparing expanded EDAM on the left-hand side
24 and split markets on the right. The dark blue bar is
25 California emissions, and then the light blue bar is West-

1 wide or WECC-wide. So we actually do see emissions tick up
2 slightly in both of these cases relative to the baseline-
3 plus. But you can see the distributional effects are
4 different. In the expanded EDAM case, California emissions
5 fall by about 11 percent relative to the baseline-plus
6 case, even though system-wide emissions tick up by about 1
7 percent.

8 In the split market case, California emissions do
9 fall because we see that gas drop on the first chart. But
10 they fall by about three percent, while across the West,
11 they tick up by about two percent. So we do see a West-
12 wide -- you know, it's a little bit skewed relative to the
13 EDAM case.

14 I also noticed while I was preparing this that
15 there's a typo on this slide. This should say, you know,
16 rise, emissions rise in the WECC, not fall. So we'll get
17 that fixed, but I wanted to point that out if that was
18 causing any confusion.

19 So this is kind of our emissions story; right?
20 We do see a fall in gas generation in California, a
21 reduction in curtailments, and a reduction in emissions in
22 California with the larger EDAM footprint. But there is
23 kind of this distributional impact where we see emissions
24 rise in the rest of the West as a result, just slightly,
25 about one percent in the kind of expanded EDAM case and

1 about two percent in the split market case.

2 So the last benefit we wanted to talk about is
3 that reliability benefit. I want to be very clear, as
4 we've talked about this a lot with the CEC and staff that
5 we've been working with on this, you know, this is not
6 really a reliability study. Production cost modeling is
7 not the right tool to really assess reliability. But we
8 wanted to think about something we could calculate from our
9 study that would help speak to this, to the ability of a
10 market to manage these unexpected events.

11 And one of the things we can see in our model is
12 how supply cushion or excess capacity in every hour of the
13 year changes with the different market footprints. So what
14 we're getting at here is, you know, how much additional
15 capacity or how much additional generation resources does
16 the market have to help manage unexpected outcomes with a
17 larger footprint relative to the smaller footprint? And
18 that's exactly what this supply cushion metric looks at;
19 right?

20 And we only look at, I should say, firm
21 dispatchable capacity. So we assume renewables are not
22 part of the supply cushion because, you know, they're
23 variable. We assume hydro is not part of the supply
24 cushion because hydro resources, you know, have other
25 restrictions on them. They may not be able to respond as

1 much. So we're really only looking at firm dispatchable
2 capacity here. How much more excess capacity does the
3 market have to help deal with extreme conditions in the
4 larger footprint?

5 And what we find is that it's about 20,000 to
6 25,000 megawatts of additional headroom or supply cushion
7 in the expanded EDAM case relative to the split market
8 case. So by having that larger footprint, we give the EDAM
9 about 25,000 additional megawatts of capacity to help
10 manage unexpected outages or unexpected ramping down of
11 renewable resources, things like that, that can be re-
12 dispatched and brought to serve load in those kinds of
13 conditions.

14 Of course, transmission constraints on the system
15 and all of that doesn't mean that, you know, this 25,000
16 megawatts is completely fungible. But it does, you know,
17 it does give a sense of what additionally the market can
18 tap into when it has more members in it. And particularly,
19 we looked at kind of the top 10 hours in the summer when
20 things are usually the tightest in, you know, in our
21 simulation are the tightest, and we found that the result
22 is consistent; right? It is in those top 10 percent of the
23 hour -- or I should say top 10 hours of the year when
24 supply cushion is tightest, there's still about 20,000
25 additional megawatts in the expanded EDAM footprint than

1 there is in the split market case that the market can use
2 to help manage and serve load in those top hours of the
3 year.

4 So those are the three benefits we looked at,
5 right, economic, environmental and reliability.

6 I want to state, I heard someone say this in the
7 last panel to that, you know, simulated benefits like this
8 are often understated and conservative. And we think
9 that's true for various reasons. One of them is that, you
10 know, it's hard to really capture the inefficiency of
11 bilateral markets in a simulation like this. We do a lot
12 of things to try to mimic kind of the inefficiencies of
13 bilateral markets. But we often, you know, find that we
14 just can't -- we don't do it or fully, largely because, you
15 know, we don't capture unexpected volatility in load or
16 fuel prices. You know, gas prices can be very volatile day
17 to day. Not all of that is captured here.

18 Similarly, like we talked about, right, the
19 seams, market seams and how the inefficiencies and
20 frictions we see at market seams may not be captured. And
21 so we tend to find that our, you know, market benefit
22 estimates are low compared to actual benefits. And when
23 they were doing, you know, EIM estimates relative to the
24 ex-post actual benefits that that members have realized,
25 you know, it was multiples higher than the simulated

1 benefits. And so I think you would see something like that
2 here, too, where actual benefits from a larger market
3 probably will be much higher than what we calculate in this
4 study.

5 And then my last slide, I just wanted to touch on
6 a couple of things. You know, we've been brainstorming
7 about how to possibly refine this work. As I said, I think
8 the four cases we have simulated do provide really
9 significant insight on the impact of an expanded market for
10 California. But they also raise really interesting
11 questions that could drive some refinement and further
12 analysis. One of them is just the footprints that we've
13 simulated; right? We picked those four different market
14 footprints to simulate.

15 One thing is we haven't simulated a true status
16 quo. Like I said, our baseline case includes the EDAM, so
17 we don't actually calculate the benefit of EDAM formation
18 from where we are today. So that could be one thing to do
19 is to think about doing a true status quo case.

20 Also, we calculated that expanded EDAM footprint
21 and a split market footprint. But there's obviously a lot
22 of intermediary footprints that could happen between there.
23 Those two cases kind of represent bookends, if you want to
24 think about it that way. And we could test, you know,
25 different configurations and see how that impacts

1 California and maybe, you know, isolate which members or
2 utilities in the rest of the WECC have the most impact on
3 California, depending on whether they join EDAM or not.

4 I already talked about market seams assumptions,
5 but that's one thing we're looking for feedback on and can,
6 you know, certainly refine in future analyses. How
7 effective trading is across the market seams is a big
8 driver of, you know, the potential benefit or loss to
9 California customers from, you know, fragmentation in the
10 West. And then, of course, resource mix, load forecast,
11 fuel price assumptions.

12 And then lastly, like I said, you know, we don't
13 fully capture the volatility that we see on the system
14 today. So there are ways we could, you know, refine our
15 model or improve it to be more weather reflective, looking
16 across, you know, looking across many years of historic
17 weather variability. And that could get us closer to,
18 let's say, a true estimate of market benefits that would be
19 higher than what we have here today.

20 So those are just thoughts about where we could
21 take this analysis, but obviously looking forward to
22 questions and feedback. And I'll stop there and pass the
23 baton.

24 MR. MCDERMOTT: Thanks, John.

25 Before we go to Q&A, we're going to hear from

1 Michael Wara at Stanford on his team's recent research on
2 some questions related to reliability. So Michael Wara is
3 the Director of Climate and Energy Policy at Stanford
4 University, and I'll pass it to him.

5 DR. WARA: Thanks very much, Jake.

6 (Off mic colloquy)

7 DR. WARA: Should I show my own slides? Okay,
8 great. Thanks.

9 Mike Wara, Director of the Climate and Energy
10 Policy Program at the Woods Institute for the Environment.
11 The work I'm going to show today, I just want to give
12 credit where credit is due. Mareldi Ahumada-Paras and Mike
13 Mastrandrea are my co-authors but, really, Mareldi deserves
14 the lion's share of the credit. She's the one that did the
15 hard work, and I want to just give her that shout out.

16 So I'm going to talk about grid regionalization
17 in the West and really focus on reliability benefits from
18 increased cooperation. This is work that we did because of
19 generous support from the Energy Foundation.

20 Next slide, please.

21 I'm not going to spend too much time on this
22 slide because I think we've had a lot of discussion today
23 about the role of grid operators in the West and balancing
24 authorities.

25 I'll just note that extreme events, like some

1 that I'll discuss from 2020 and 2022, place enormous stress
2 on Western operations, and we're seeing more of those. And
3 for different reasons than we used to. We had an event a
4 few years ago where the California-Oregon Intertie was shut
5 down because of wildfire smoke. We've had really
6 significant challenges with multi-year droughts and hydro
7 availability that have placed new and unique strains on
8 Western balancing authorities, including the CAISO. And
9 we're going to explore in this study what different
10 footprints for electricity markets might provide in terms
11 of enhanced reliability during these sort of stress
12 conditions.

13 Next slide, please.

14 So, again, not going to spend too much time on
15 this given who's on the dais, just to note that grid
16 reliability is a particular challenge because demand and
17 supply need to be balanced on a second-to-second basis.
18 Deviation from a balanced system can lead to or does lead
19 to, unserved customer demand, and that the Western
20 coordination situation as it stands today is quite complex
21 with 37 balancing authorities managing that problem, of
22 course, in coordination with each other, but responsible
23 for maintaining supply-demand balance within their
24 footprint.

25 Next slide, please.

1 Also, just worth noting what we are talking about
2 today and what we are not talking about today, and I think
3 it's important to be clear on that. Balancing authorities
4 are responsible for this balance of supply and demand
5 within their service territory. Of course, there are
6 different timescales over which demand and supply need to
7 be balanced, ranging from decades to years to hours,
8 minutes, and seconds.

9 And this discussion is really about that hours-
10 to-seconds operational challenge and really planning in the
11 day-ahead market, and not in any real way about
12 transmission planning or resource adequacy, which are
13 separate issues from the Pathways Initiative and where
14 state authority really remains the primary driver of
15 decision-making.

16 Next slide, please.

17 So why might reliability be a greater challenge
18 today than it has been in the past? Why might it be
19 important to think about regional cooperation as one of the
20 responses to changing reliability today, maybe when it
21 wasn't as big a concern in earlier years?

22 We've been through a number of relatively extreme
23 events during the last five years that really make a point
24 on how climate change and sort of broader changes in the
25 West are really driving a new need to think about greater

1 coordination and cooperation.

2 In 2020, there was a West-wide heat event that
3 led to significant challenges within California and really
4 across the West in terms of grid reliability.

5 In '21, as I mentioned, there was a significant
6 heat wave, and at the same time, the Bootleg Fire was
7 burning in Oregon. Smoke from the fire, particulates in
8 the -- create potential for faults between wires on
9 transmission lines, and so the COI had to be shut down.

10 Luckily, California was not particularly hot at that time,
11 and so load in California was low. But, you know, you
12 can't rely on luck as a plan. And certainly, we are seeing
13 much greater wildfire activity across the West, and that is
14 putting at risk connections that we once thought of as kind
15 of certain, particularly during fire season, which happens
16 to be the hottest part of the year when demands are also
17 high.

18 And then, of course, the 2022 event where a
19 demand record that had not been broken since, I believe,
20 2005 was broken in CAISO, and that's despite the deployment
21 of enormous quantities of rooftop solar, and yet we saw a
22 peak load record in CAISO of above 52 gigawatts.

23 So there's a pattern here that involves increased
24 stress, you know, combined with extreme weather events. We
25 see growth in demand. And I think it's fair to say we're

1 likely to continue to see growth in demand. A lot of this
2 work really precedes the thinking that's been emerging
3 about the growth in load associated with data centers.
4 We're beginning to see some load growth associated with EVs
5 and building electrification, as well. All of this is
6 happening in a context where the integration of renewables
7 makes grid management different than it has been in the
8 past, where we're managing a variable resource. And then,
9 of course, across the footprint, there are an emerging set
10 of relatively diverse climate policies that create the need
11 for coordination, as well.

12 So there are two efforts. You know, we've talked
13 about them a lot, the West-Wide Governance Pathways
14 Initiative, and then SPP's Western RTO Initiative.

15 Next slide, please.

16 So we're going to, in the work that I'm going to
17 show, we're going to talk a lot about -- we're going to use
18 a power system model. And as was discussed in the prior
19 presentation, these models are not really well designed to
20 simulate what actually happens when a grid operator, like
21 the one sitting on the dais in front of me, faces a Stage 3
22 Alert. You know, when demand and supply are tight, the
23 assumptions in these models are not actually very valid.
24 And that's something we observed, in particular, using the
25 power flow model that I'll talk about in a second.

1 But essentially, the model assumes, first of all,
2 economic rationality of all trades, that the electricity
3 goes where it's needed and that those needs are weighed
4 equally across all balancing authorities. It's sort of
5 assuming the presence of a market that we actually are
6 talking in the room today.

7 Secondly, and I think this is very important, the
8 models assume perfect information. They assume that the
9 operators in the CAISO, the big room with the screens in
10 Folsom, know where every available asset is in the Western
11 United States that might be available to meet California
12 load. They assume that all the other balancing authorities
13 have all that information, as well. That is implicit in
14 the design of the energy models that we use to evaluate
15 power flow.

16 And that assumption, I'll just say based on many
17 conversations with different balancing authorities in the
18 West, fails substantially during these shortage events. As
19 multiple balancing authorities get close to their -- you
20 know, as their available resources get close to peak
21 demand, they tend to want to hold on to resources because
22 they may suffer an unplanned outage that would put them out
23 of balance. And so that, the question of economic
24 rationality there, is called into question. And also, the
25 idea that everybody knows how many megawatts everyone else

1 has is, I think, not borne out by the lived experience
2 during these relatively tight periods.

3 Another assumption in these models, which I think
4 is important and is false during these events, is that the
5 barriers to trade across the balancing authorities do not
6 change during stress events. So the typical power flow
7 models assume some sort of hurdle rate across the seam.
8 It's kind of invariant, no matter what the overall
9 situation is in the grid.

10 And I'll just say that that is also -- you know,
11 the reluctance to trade is not constant. Under average
12 conditions, balancing authorities are more than happy to
13 see actors within their footprints trade energy across
14 seams. There may be some sort of, you know, cost
15 associated with that trade. You have to have
16 deliverability. You have to have transmission rights.
17 That's not necessarily true if the entity responsible for
18 maintaining balance fears that they may run into an event
19 where they would have to shed load.

20 So we see these three assumptions in the models
21 as making it particularly challenging to simulate
22 reliability. But they also are a clue to why an initiative
23 like Pathways could be very important in terms of improving
24 reliability. Because what a regional market will do is,
25 for the grid operator that governs that footprint, the

1 market operations within that footprint, will create, first
2 of all, visibility into all of the assets that are
3 available and their status. In addition, by the use of an
4 optimization algorithm, optimize security-constrained
5 economic dispatch across the entire footprint, as opposed
6 to just within their footprint. And we'll manage
7 transmission constraints in a way that optimizes cost for
8 all ratepayers across the footprint.

9 And so what we're trying to simulate in this
10 study is the difference between normal operations
11 assimilated in power flow models and the reality. And I
12 think it's not fair to call it dialing for megawatts.
13 That's obviously an oversimplification, but I love it when
14 I can put up, you know, old AT&T phones in a slide. But
15 the reality is that it is a human interaction during these
16 stress events.

17 There's a tremendous amount of operator
18 experience that's brought to bear and relationships that
19 are brought to bear to try to gather as much information as
20 possible about available resources that might be called on.
21 And that may mean that things are missed. It may mean that
22 resources are not offered across seams that a model might
23 dispatch optimally.

24 Next slide, please.

25 So studies prior to our work, and I should say,

1 you know, none of us have seen the Brattle work until
2 today, and I'm really excited to see that they're also
3 thinking about reliability and approaches to estimating
4 reliability benefits from greater regional coordination in
5 markets, but prior to our work, other studies had focused
6 on economic benefits from increased cooperation through
7 expanded day-ahead markets rather than this reliability
8 benefit. And those benefits appear to be real. And as we
9 just saw, potentially substantial depending on the scope of
10 the footprint, but they're also occurring in a context of a
11 very large electricity market across the West.

12 And I'll just say that our own experience leads
13 us to think that these questions around market structure
14 and its impact on reliability during stress events may be
15 as important or more important than the money saved on an
16 average day in the WECC.

17 Next slide, please.

18 Oh, I just want to say one more thing before we
19 move on, and that is that I think I told you how power flow
20 models are not well suited to these kinds of reliability
21 studies. It's challenging to tease insights about
22 reliability out of a model that can fully simulate
23 different footprints in the West. And so I want to just
24 emphasize that our results, we view them as illustrative
25 and directional rather than emphasizing their quantitative

1 nature. So this is about, you know, giving you a feel for
2 what may happen for reliability, how the market, an
3 expanded EDM footprint managed by a new entity, might
4 experience a reliability shortage, not to tell you
5 precisely how much load shedding there might or might not
6 be under a particular set of demands, supply, balance
7 circumstances.

8 Next slide, please.

9 So we use the PLEXOS WECC zonal dataset and the
10 PLEXOS model in the work. We use a zonal model. So
11 that's, right there, telling you this is also -- that adds
12 a sort of more qualitative nature to the work. We didn't
13 feel that there was a reason to strive for great precision
14 in this work because, like I said, we're trying to tell you
15 something qualitative. And so a zonal model was adequate.

16 We used the September 2022 data. So this is kind
17 of the grid we have, not the grid we will have in 2032, as
18 was in the Brattle study. And we were simulating a month
19 of operation in the work. And the goal in this study was
20 to simulate kind of an absolute worst case scenario to take
21 the event that occurred in 2022 and go significantly
22 further than that, because we actually don't think that's
23 the worst case. That event was a situation where
24 California was experiencing a pretty extreme heat wave, but
25 other parts of the West were not; right? So there was

1 available energy to move across seams into California to
2 support the California grid.

3 Next slide, please.

4 We simulate three cases that are sort of
5 analogous to what we just saw. One that is a kind of small
6 footprint, maybe analogous to, somewhat analogous to, the
7 existing EDAM footprint. We didn't have PNM in it at the
8 time. A case two that is sort of an expanded EDAM. And a
9 case three that really is a West-wide market, where even
10 the SPP, the region is currently committed to SPP, decide
11 to come into a single market.

12 And we also simulate three levels of stress
13 demand that are significantly -- that vary in size relative
14 to the reported demand for the September 22 heat wave. We
15 put some pretty strong assumptions into the model. And I
16 want to emphasize, this is also where the directionality is
17 really created, rather than a sort of real quantitative
18 estimate of a reliability benefit. And the strong
19 assumption we make is that there isn't electricity
20 interchange between subregions.

21 So, of course, in the real world, subregions
22 trade energy even during extreme events. They do that
23 because of existing contracts. They do that for -- you
24 know, on the day when resources are found and are available
25 to move energy into the regions that are under stress. But

1 what we're trying to do here is to sort of draw out of a
2 power flow model what reliability impacts might be.

3 And so that's a strong assumption, I want to
4 acknowledge that, but also maintain that we think that we
5 can draw inferences about reliability, even given that
6 strong assumption.

7 Next slide, please.

8 So what do we find? We have two metrics that we
9 use. One is hours at risk, which is the percentage of
10 hours when a system operates in stress conditions. And
11 that's really telling you something more about when the
12 system is at a price across the market that is the value of
13 lost load. And then a sort of more stringent metric, which
14 is unserved energy, which indicates a portion of time when
15 there's loss of load, where we have actual load shedding in
16 the market in order to maintain balance on the system. And
17 what we find quite clearly is that as you move toward a
18 larger market footprint and you impose extreme stress on a
19 system, all of these metrics for reliability improve;
20 right?

21 So in the figure here, we have the worst-case
22 stress event depicted and different sizes of a regional
23 day-ahead market. And what you can see is that there are
24 significant changes, both in hours at risk, so that's
25 telling you something about prices across the market and

1 the prevalence of very high day-ahead market prices, and
2 then significant, significant decrease between especially
3 the smaller EDAM footprint and a somewhat larger EDAM
4 footprint in unserved load, unserved energy.

5 And so what we would emphasize about this work is
6 that this should tell regulators, legislators that are
7 considering potential, you know, governance changes to
8 allow development of a regional market, that there is a
9 significant reliability benefit here. It's hard to
10 precisely quantify what that is because we don't have the
11 tools to do that precise quantification.

12 However, given the tools that we have, we can see
13 pretty clearly, as it shows, as shown in our analysis,
14 shown in the Brattle analysis you just saw, that there are
15 potentially significant benefits to the grid operator in
16 California and across the West from greater regional market
17 operation.

18 Next slide, please.

19 So what have we shown? The study illustrates the
20 potential reliability benefits that could be achieved as we
21 move toward an expanded day-ahead market footprint in the
22 West, and under stress conditions. I think that's really
23 important to emphasize. There are benefits that will
24 accrue from an expanded EDAM if under average conditions,
25 under conditions that occur during the spring and fall when

1 curtailment is highest.

2 And then there are effects of a market footprint
3 like the ones that we're contemplating in this study that
4 will be more important during the hot summer evenings when
5 the sun sets and we're managing net load under very
6 difficult conditions. Larger footprints under the purview
7 of a single electricity market create reliability benefits
8 during those extreme hours.

9 Restructuring into a West-wide electricity market
10 requires obviously resolution of multiple challenges that
11 many of the people in this room have been working on for a
12 long time, governance, cost allocation, stakeholder
13 participation, attention to state policy goals. But one
14 thing to bear in mind, even though it can be difficult to
15 quantify, is that the reliability benefits, which are hard
16 to price or to value but I think can be very significant,
17 appear to be large from this kind of a change.

18 And I would just emphasize, you know, in closing
19 that when I think about our state policy goals, the goal,
20 the SB 100 goal, the AB 32, SB 32, AB 1279 goals, the thing
21 I worry about the most is what might happen under one of
22 these stress conditions. I worry, you know, observing what
23 happened in Texas after hurricane -- or sorry, Winter Storm
24 Elliott, I thought a lot about what if we had to load shed
25 in the way that Texas, that ERCOT, was forced to load shed

1 because of very difficult circumstances associated with
2 extreme weather.

3 And I think in our context, it would be hard to
4 avoid political consequences for especially the SB 100
5 goals. And that's an important reason, I would argue, to
6 support these regional efforts, that we need to do
7 everything we can to buttress our reliability so that we
8 never have to have a conversation about why California's
9 commitment to clean energy potentially threatens keeping
10 the lights on.

11 Thank you very much. And I guess we'll take
12 questions now.

13 MR. MCDERMOTT: Thanks, Michael.

14 I'll hand it to the Vice Chair to start with
15 questions from the dais.

16 VICE CHAIR GUNDA: Thank you, Jake.

17 And John, thanks for your presentation.

18 And Dr. Wara, thank you for being here and your
19 presentation.

20 So let me see. I want to first go to President
21 Mainzer, and then Commissioner McAllister.

22 PRESIDENT MAINZER: Well, thanks. Well, both of
23 you just put some, I think, really, really important
24 information on the table. I really, really appreciate
25 that.

1 And I was going to maybe respond in reverse
2 order, first of all, to Michael. Appreciate your statement
3 about, you know, sort of putting yourself in the position
4 of the grid operator and thinking about the situation on a
5 very, very intense, stressed day. And I think not only
6 did -- your analysis and your intuition really ratifies the
7 actual lived experience that we have of that illiquidity in
8 the market and the day-ahead basis. And when you get into
9 these stressed days, like September 2022, from the
10 perspective of grid operation, you can literally feel the
11 amount of reliability value that's being left on the table
12 by not having that day-ahead optimization available to you.

13 And what happens is folks are holding on to
14 capacity. There's less liquidity. You're more likely to
15 have to declare an energy emergency alert or an EEA watch.
16 And you have to wait until you get into that real-time
17 market to really know what's going to show up. So I think
18 you've really accurately characterized that.

19 That also fits in and segues because that real-
20 time market that has been built over the last decade, you
21 know, the WEIM, has actually created a significant amount
22 of real-time liquidity; right? We tend not to have to be
23 doing a lot of dialing for megawatts in real-time because
24 that machine is actually optimizing the system quite
25 effectively on that short-term basis.

1 And I think that really gets to John's point when
2 he talks about the split case. I really appreciated it.
3 And I think the Brattle work also, I think, very
4 intellectually honest work as we typically see from
5 Brattle, I think they've been able to capture a lot of the
6 dynamics. But as John acknowledged, it's very difficult to
7 try to quantify with the existing modeling tools or to
8 characterize in a single hurdle rate the loss of efficiency
9 you have from the degradation of the EIM footprint.

10 And so, in that split case, what's happening is
11 you're effectively migrating entities who are currently in
12 EIM out of EIM. And actually the case that's modeled
13 there is roughly equivalent to the footprint for EIM that
14 we saw back in probably, I think, in 2017. And if you go
15 back and just look at the quantified EIM benefits back in
16 2017, they were about, for California, they were about \$100
17 million a year, which is about \$400 million per year less
18 than what we just have seen now with everybody still in.

19 And so as John suggested, and I really appreciate
20 that as he's acknowledged the difficulty of quantifying
21 that kind of the real-time loss of efficiency and how
22 efficient that seam might be, I think that's an area where
23 some additional sensitivities are going to be helpful. And
24 I would say we definitely look forward to supporting that
25 in any way we can with some of the historical data and

1 support the real-time field.

2 So I just wanted to thank you for that work. And
3 I think the way that you have characterized the sort of
4 intuition of the reliability benefits is a real value,
5 while also acknowledging it's hard to put two or three
6 decimal points on it. So thanks for the work. And
7 hopefully going forward, we'll be doing less dialing for
8 megawatts in the future. Thanks for your work. Really
9 helpful.

10 COMMISSIONER MCALLISTER: So similar thoughts,
11 although Elliot is always more articulate than I about this
12 and through hard-won experience, obviously. So I really
13 enjoyed both presentations. Thanks, John. Thanks, John.
14 And thanks, Michael.

15 I guess just along the lines of reliability, you
16 know, both your presentations, you know, I think they
17 complement each other really well. You know, the
18 difficulty of managing seams, and I think, John, you
19 acknowledged, you know, repeatedly that that's an area of
20 future work, and so, really appreciate that. I think we
21 have to work hard to sort of scenario that out and sort of
22 see how different levels of complexity or, you know,
23 different levels of sort of barriers to navigate those
24 seams that has cost implications and could change the
25 analysis some.

1 But it also seems really related to reliability.
2 Like if you do have, you know, a tempering down of cross-
3 seam transfers, that limits your options for when you do
4 have a stress event and you're going to have reliability
5 implications. So it just seems really important to be able
6 to quantify reliability. I mean, I heard both of you say,
7 you know, it's really difficult. But what would a
8 methodology look like to sort of begin to assign -- you
9 know, I mean, production cost modeling does it in sort of
10 dollar terms, just in terms of like pricing, you know, and
11 sort of, okay, let's just count those dollars. But it
12 seems like there's much more to reliability than just that.

13 And I guess I'm wondering if you've been thinking
14 about, you know, what sort of creative or different
15 approach might be to quantify the reliability costs that
16 different scenarios might imply so that you could actually,
17 you know, sort of incorporate those into these scenarios
18 and we can look at those numbers?

19 MR. TSOUKALIS: I can take a quick pass at that.
20 And then, Michael, I don't know if you have other thoughts?

21 One thing we've actually been testing here at
22 Brattle and have been toying with is, right, how do we
23 build in that hoarding behavior in the production cost
24 simulations; right? That's basically what Michael
25 described. And we see it all the time. And we hear it

1 from clients all across the country is -- and we saw it in
2 the Southeastern U.S. during Winter Storm Elliott; right?
3 People just don't want to sell to each other when these
4 extreme events happen because they're risk averse, right,
5 you know, irrational or risk averse, whatever you want to
6 call it.

7 But so we have -- I think there are ways to build
8 it into production cost simulation. Basically, you know,
9 we've been toying with the idea of like when supply cushion
10 gets too tight in the market, we shut down trading in the
11 model and there's ways to do it. But I don't think any of
12 those tools are perfect yet. I don't think anyone has a
13 perfect tool to do this.

14 I think it's always going to be about how do we
15 just get, you know, incrementally closer to being able to
16 quantify it. Because that hoarding behavior is not -- it
17 can't be described by an algorithm; right? It is, in that
18 sense, it is not -- it's disassociated from what I would
19 call like a behavior you can describe in a program; right?
20 It is human behavior. It is literally someone at a utility
21 saying, I don't want to sell you this power because I'm
22 afraid to do so. How do you quantify fear; right? Like
23 that's what we're trying to do here.

24 So that's my thought, is we've been thinking
25 about ways to build it into our production cost modeling to

1 some degree to try to capture part of it. But I don't
2 think you're ever going to get that perfect or at least,
3 you know, maybe not in like I can see a way to get it
4 perfect.

5 I don't know, Michael, if you have thoughts on
6 that, but --

7 DR. WARA: We thought a lot about this, as well.
8 And I guess our conclusion, you know, one of the things we
9 did not do, mainly because we've looked at the level of
10 effort and thought that it would be more like someone's PhD
11 thesis than like something we could do in a timely way to
12 be here today, would be to estimate the deviation from what
13 a model like PLEXOS predicts, like, you know, relative to
14 reality on these days where -- and try to develop a
15 calibration for the deviation from an optimal dispatch.
16 And, you know, that is an idea. I think it would take --
17 and then you could start to basically adjust hurdle rates
18 within the models to reflect that deviation.

19 So, you know, and we toyed initially with the
20 idea of just adjusting the hurdle rates, you know, across
21 seams but that -- we didn't have a way to estimate how big
22 that adjustment should be. And we didn't want to be just
23 totally arbitrary.

24 So I think that the thing would be to say, look
25 at September of '22, look at what the model says should

1 happen on a day like that, and then start playing with
2 hurdle rates at the seams until you get a result that looks
3 more or less like what actually did happen. And that would
4 be one approach. It's not the only one.

5 And I agree with John that what we're really
6 trying to do here is simulate human behavior. And that's
7 hard because the people matter. The relationships matter.
8 The degree of risk aversion matters. And that's not
9 usually what, you know, optimization algorithms are good at
10 handling.

11 MR. TSOUKALIS: Yeah. One thing I'd add to that,
12 too, is that the hurdle rate, this is exactly what we're
13 thinking about and testing at Brattle and trying to get our
14 heads around, is it's a hurdle rate that's a function of
15 something else; right? Hurdle rates in models are usually
16 very static; right? The hurdle rates we use to simulate
17 seams are static. So in every hour of the year that we
18 simulate, it's the same cost to trade across the seam.

19 But really what we're talking about here is a
20 hurdle rate that rises exponentially under certain
21 conditions on the system; right? So you have to have a
22 hurdle rate that is a function of a million other things
23 going on in the system. But maybe it could be a function
24 of, you know, the supply cushion in the market. Maybe it
25 could be a function of outages or whatever it is. But

1 that's really where this has to go to even start to get to
2 it a little bit, is you have hurdle rates in the model that
3 are functions of other things.

4 DR. WARA: I think the other challenge that we
5 encountered there is we were thinking along exactly these
6 lines, what should the shape of that curve be to adjust the
7 hurdle rate? But then you also get into some pretty
8 involved computational constraints with these models. And
9 so it's not so simple to have a dynamic hurdle rate that's
10 changing through a day as you're optimizing. It gets quite
11 involved computationally.

12 And that would be another piece of the PhD
13 thesis, is figuring out how to get to a solution on that
14 where we don't need the entire Stanford cluster running the
15 model.

16 VICE CHAIR GUNDA: Yeah, thank you. It was a
17 great conversation.

18 President Reynolds?

19 PRESIDENT REYNOLDS: Sure. I just have a quick
20 question. And I want to echo that last comment. This is a
21 really great conversation. And I appreciate having both of
22 you here to talk about two different approaches. And I
23 also appreciate the descriptions of what went into the
24 analysis and the uncertainties, the knowns and the
25 unknowns. And it really helps us understand the results.

1 And so thank you for both of you for all this work on it.
2 It's really helpful and will move the conversation forward.

3 I had just a fairly minor specific question for
4 John on one of the slides that showed the arrows up and
5 down on benefits to customers and environmental benefits.
6 And there was a -- and the customer benefit, the arrow that
7 went down, related to transmission. I think it was
8 transmission rents. Could you walk us through that a
9 little bit? I just was interested in hearing a little bit
10 more about, you know, following, walking through where the
11 dollars flow and how you get to the negative result for
12 customers. Thank you.

13 MR. TSOUKALIS: Yeah, I should point out that
14 that's kind of -- that slide illustrates typical
15 directions, but it doesn't necessarily actually have to be
16 negative. And in fact, some of our simulations in other
17 areas have shown joining a market may actually increase
18 your revenue from transmission. But typically we see a
19 decline, so that's the reason for the arrow.

20 And the dynamic there is, you know, the whole
21 premise behind these regional markets is that all of its
22 members kind of donate transmission to be used to the
23 market. And part of that donation is we're not going to
24 charge you a fee to use our transmission on a short-term
25 basis. So today, if someone wanted to sell power from

1 CAISO into NV Energy, you've got to pay the wheel-out fee
2 from CAISO. But on a day-ahead basis; right? In the EDAM,
3 you wouldn't pay that wheel out fee. So that revenue that
4 CAISO collects for that today is not going to be collected
5 in EDAM.

6 There is a mechanism in the EDAM, the TRR
7 settlement, to make transmission owners whole, but there's
8 also a fee to pay into that. So for certain entities, that
9 may turn out to be a loss on a net basis. Especially, you
10 know, if you're someone today that is selling a lot of the
11 third-party transmission on a bilateral basis for other
12 entities to execute, you know, transactions, you may lose
13 some of that revenue when you move into a market.

14 So does that answer the question? Does that give
15 you the explanation?

16 PRESIDENT REYNOLDS: Yeah, that was great. I
17 just wanted everyone to hear a little bit more detail.
18 Thank you.

19 MR. TSOUKALIS: Great.

20 VICE CHAIR GUNDA: Commissioner Houck?

21 COMMISSIONER HOUCK: I just wanted to thank you
22 for the presentations and all the work in detail. There's
23 a lot here. This is really informative. And I don't think
24 I have any additional questions that I want to ask right
25 now, but again, I really appreciate all of the work on

1 this.

2 VICE CHAIR GUNDA: Great. So, yeah, I have just
3 a couple of questions.

4 But before we go into that, John and Dr. Wara,
5 just really thank you for your presentations. I think it
6 just kind of -- to take it from you, Dr. Wara, much of this
7 information could really provide us directional insight
8 into the potential magnitudes of different benefits and
9 risks. And, you know, it's a good starting point to then
10 kind of continue to think through how to make the
11 quantification better and better.

12 So, John, maybe kind of starting with you, first
13 of all, big thanks to you and your team. We've put you
14 through some intense time there trying to get this work
15 done before the workshop after the Step 2 was completed,
16 and we had some insight into, you know, what the Step 2
17 proposal was. And really thank you to you and your staff
18 for working through the holidays to get us, you know,
19 results to kind of start thinking about what next to do.

20 And I also want to recognize that this is going
21 to be a phased approach. And the Energy Commission is
22 going to continue to work with Brattle on thinking through
23 the input from this workshop and enhancing the results as
24 we move our work further.

25 So, John, maybe one question is, you know, we

1 discussed early on to try and keep the methodology and the
2 constitution of the analysis as consistent as possible with
3 the rest of the studies that you have done across the West,
4 you know, before we deviate from that. Could you kind of
5 just share, you know, as you look through the results of
6 all the work that Brattle has done, similarities,
7 differences that you've observed, any insights that you
8 might want to provide here?

9 MR. TSOUKALIS: Yeah, I do think one consistent
10 takeaway is, you know, as I said at the beginning, larger
11 and more diverse footprint generally means more benefits.
12 You know, I can't think of a specific instance where that's
13 not the case.

14 So, you know, as you think about additional
15 entities joining EDAM, you know, the ones that bring, you
16 know, transmission connectivity and diverse resource mix to
17 the pool are the ones that are likely going to drive, you
18 know, increased benefits for California customers.

19 So that's, I would think, maybe the broadest
20 takeaway across all the studies we've done for various
21 entities. So, yeah, maybe I'll leave it there. I think
22 that's probably the headline of all of them.

23 VICE CHAIR GUNDA: Thank you, John. And maybe
24 this is a question for Dr. Wara, and John, if you want to
25 take a shot or two.

1 Just as we kind of think through the economic
2 benefits and the reliability benefits, how do each of you
3 see others' work; right? Like, you know, and what do you
4 think is the story of the narrative around markets that
5 your studies show? And, you know, what do we have to do to
6 really make sure that the work we are doing has that
7 objective transparency for policymakers to really kind of
8 lean in and say, look, this analysis is helpful, useful,
9 and we can rely on?

10 DR. WARA: Well, I think of the Brattle work as
11 some of the best work simulating markets and the actual
12 operation of the markets. We've done a number of calls
13 with the team at Brattle, and they've been very helpful in
14 explaining their work to us. And, you know, it's hard to
15 simulate all of the detail in the West and the complexity
16 and the market structure that exists today. And then to
17 layer on top of that, you know, changes to that market
18 structure. And so I look at the Brattle work as being some
19 of the most credible for what the economic costs and
20 benefits might be from a change like this.

21 And so seeing the results today and thinking
22 about the broader context in California where affordability
23 is job number one, to me, I look at this and I think this
24 is an important piece of the puzzle for solving that
25 problem. Like we need to put downward pressure on rates,

1 we need to bend the curve. Wildfires are not going away.
2 The need to invest in utility safety is not going away.

3 So this is one thing that California could do
4 among a slew of other, you know, basket of things that we
5 need to do and manage to do collectively to manage
6 affordability. And I think that the Brattle work today
7 really shows that this could be an important piece of that
8 puzzle. And that makes me, as a person who works in
9 California energy policy, hopeful because we need lots of
10 pieces like this. There's not going to be one silver
11 bullet. And so that would be one sort of big take-home I
12 would have.

13 And then it's encouraging to see that a very
14 different approach to thinking about the reliability
15 benefit comes up with some similar, you know, qualitative
16 answers. I would have been surprised and a little
17 depressed if their analysis using a different method said,
18 nah, not much benefit. But 25 gigawatts of additional
19 capacity is a substantial benefit on a hard day.

20 MR. TSOUKALIS: Yeah, I would say the thing that
21 struck me the most from your presentation is you said that
22 you thought, you know, these kind of reliability benefits
23 during extreme events may be just as important, if not more
24 important, than the economic benefits. And I agree with
25 that. And so I'm really glad to see that Michael and your

1 team at Stanford are thinking about how can we try to put
2 some numbers on it.

3 And, yeah, I look forward to more conversations
4 about that in the future with you and others, because that
5 is that -- I think you're right. That's exactly right.
6 You know, people, especially you talked about the political
7 ramifications of lights going out. You know, we see that
8 every time lights go out for customers, there are
9 ramifications in one way or another. And the cost of that
10 is just grossly underestimated in kind of every model. You
11 know, any type of value of loss load estimate, I think, is
12 grossly understating the real value there.

13 So I'm really, you know, glad to see that you're
14 thinking about how do we try to put numbers on this
15 reliability benefit, specifically in those kind of stressed
16 conditions. So I was excited to see the work. Just like
17 you, I hadn't seen it until you presented it just now. So
18 it was great to get a look at that.

19 VICE CHAIR GUNDA: Great. Thank you. So I
20 think, John, we'll have a lot of comments from this
21 workshop that, you know, would be helpful in designing the
22 next phase of the work and continuing to sharpen some of
23 the quantitative numbers.

24 You know, for the record, I haven't finished my
25 PhD. It's been about three months away for 10 years now

1 from completion. So I may take you up on, you know, trying
2 to understand, you know, the hurdle rates of non-linearity.
3 But, yeah, three months.

4 So, but, anyways, I just want to send a big sense
5 of gratitude to both of you and your teams for the work and
6 look forward to continuing work on that.

7 MR. TSOUKALIS: Thank you.

8 MR. MCDERMOTT: Thank you, Vice Chair.

9 We'll do about five minutes of questions based on
10 what we've received in the chat on Zoom and in-person.

11 So for John, this comes from someone in the room.
12 "Did Brattle look at impacts to other balancing
13 authorities? If yes, does any balancing authority have
14 lower costs on the split market compared to the expanded
15 EDAM scenario?"

16 MR. TSOUKALIS: Good question. We didn't look at
17 anyone outside of California in this study. So we haven't
18 done that yet. Again, if that's something the CEC wants us
19 to take a look at, we are happy to do that, but -- and we
20 can do that with the cases we have simulated, but we
21 haven't done that yet.

22 MR. MCDERMOTT: And then I think there's a
23 related follow-up from a different person on the Zoom,
24 which is, "Are those benefits to California at the expense
25 of the other member states?" So can you talk a little bit

1 about what the numbers say or don't say about benefits to
2 other folks in the West?

3 MR. TSOUKALIS: Yeah, that's a great question,
4 and we get that a lot in these market studies. I think the
5 key point here is market benefits, it's not a zero-sum
6 game. It's exactly the opposite; right? It's a
7 compounding game where the more one entity benefits, the
8 more likely its neighbor will benefit; right?

9 Sono, there is no -- we've seen -- I can't think
10 of an example in the kind of dozens of market benefit
11 studies we've done over the last 10 years where that type
12 of dynamic exists, where one entity's benefit was another
13 person's loss. You know, there's this common misconception
14 that markets only help folks who are net sellers, and so if
15 you're a net buyer, you don't benefit. That's not true.
16 That's exactly the opposite. If you're able to turn off
17 your expensive resources and buy cheap power on the market,
18 you're benefiting your customers by doing that.

19 So, it's not -- again, we haven't looked at any
20 benefit metrics for folks outside of California, but I have
21 no reason to believe that there would be cost increases
22 outside of California from an expanded market or any of
23 these markets.

24 MR. MCDERMOTT: Thanks, John.

25 I'll turn to Michael for a clarifying question on

1 the Stanford study. It's on the assumptions. "So do your
2 reliability results demonstrate the benefits of just long-
3 term generation planning, or do you also need to assume
4 expanded access to transmission planning to get the
5 results, meaning, are you studying the benefits of an RO on
6 its own, or do we need an RTO to get the results shown?"

7 DR. WARA: We specifically did not include the
8 kinds of things that would accrue to an RTO, because we
9 don't view that as something that's under consideration in
10 the West right now.

11 So this is the -- the way I think of this is, I
12 think Don Rumsfeld might have said this at some point, you
13 know, you go to war with the army you have, not the army
14 you'd like to have. And that is the job of the grid
15 operator on the day. They take the resources they have,
16 not the ones they'd like. And that's both true of
17 generation and transmission.

18 MR. MCDERMOTT: Thank you, Michael. I'll do
19 maybe one more for John before we move to public comments.

20 So the slides, John, that you presented, they're
21 focused on, you know, the footprint and the operations of
22 EDAM, indicating that emissions go up in the rest of the
23 West under the expanded EDAM and split market cases
24 concerning. Would this trend be the same, or would there
25 be a net emissions reduction when we shift from EDAM to a

1 sort of long-term market where there's more of a focus on
2 expanded resource sharing of new generation?

3 MR. TSOUKALIS: Well, I'm not sure what kind of
4 long-term market is envisioned there or what -- you know,
5 yeah, so I'm not sure I can answer that question directly.

6 But what I will say is I'll go back to what I
7 said in my presentation, which is that, you know, emissions
8 reductions are ultimately going to be driven by, you know,
9 resource investment decisions, retirements and building of
10 new assets that don't emit. Markets can help by picking
11 the more efficient assets and re-dispatching away from
12 expensive things, which is correlated to emissions, but
13 it's not the same thing as emissions.

14 So I'd go back to that answer. I think if we're
15 talking about a long-term market in that question that, you
16 know, captures the environmental benefit of lower-emitting
17 or non-emitting resources and therefore investment in those
18 go up, then sure. But I'm not sure what kind of long-term
19 market is envisioned there.

20 MR. MCDERMOTT: Understood.

21 I think we can move into the public comment, Vice
22 Chair. Sure. Yep, absolutely. Yeah. So a few more
23 questions that we can kind of go through.

24 I think this could be both for Michael and for
25 John. So kind of talking about these stress conditions;

1 right? "So can Michael and John talk about the potential
2 for refining our current state of the art in modeling and
3 assessing the value of full Western grid optimization
4 during stress conditions?" So I guess saying this a
5 different way in kind of my own words, you know, what's
6 kind of the next frontier for modeling, especially under
7 these sorts of stress conditions?

8 DR. WARA: Well, I'd say, you know, we talked a
9 little bit about this; right? I mean, I think having
10 dynamic hurdle rates across seams would be one approach.
11 That is computationally intensive, you know, and these
12 models are already not super efficient at solving. But I
13 think that would be the next frontier.

14 And then calibrating that, how those -- you know,
15 essentially, that's like transaction costs. How much does
16 it cost to go to the market? And if on a very hot summer
17 afternoon when it's -- like if you're in Las Vegas and it's
18 120 degrees outside, you might think it's very expensive to
19 go to the market, to walk down the street to the
20 supermarket. But on a day when it's like today in Las
21 Vegas, where it's maybe 50 degrees outside, you wouldn't
22 think twice about throwing a coat and walk to the market.
23 And that's what we're trying to measure is that transaction
24 cost.

25 And so I think there's two sides to this. One is

1 building the model that can actually incorporate variable
2 hurdle rates. And the other is measuring the variability,
3 measuring, trying to develop quantitative estimates of the
4 impact of human behavior on the operation of the electric
5 system. And I think there are clever ways to do that, but
6 it would take time and effort.

7 MR. TSOUKALIS: Yeah, I would echo that, just
8 basically what we talked about before; right? It's about
9 trying to create a dynamic transaction cost or friction
10 costs. And I think that's kind of the next frontier. And
11 that's what we're thinking about at Brattle. Not only is
12 it computationally difficult and time consuming, but it
13 also introduces, I think, then potentially, you know,
14 another layer of assumptions that may drive outcomes;
15 right? So the function that you assume, you know, drives
16 the relationship between hurdle rate and shortage
17 conditions or whatever on the grid. You know, that's going
18 to be assumption based.

19 And so you've got to -- the calibration part of
20 it that you were talking about is really important. And
21 every event is different, so calibrating it is really
22 tough. It's not like calibrating it to a full historic
23 year. You've got to calibrate it to specific events that
24 have happened.

25 So it's a really challenging, challenging topic.

1 But it is a fruitful topic for future dissertations and
2 just thinking. So hopefully, we'll make progress on that.
3 But, yeah, I think that's kind of where things are headed.

4 MR. MCDERMOTT: Great. A couple more I think I
5 can tick through very quickly.

6 One is on coal plants. So, John, can you just
7 talk a little bit about what would prevent coal plants from
8 selling their power at a loss to keep running and forcing
9 renewables to curtail?

10 MR. TSOUKALIS: So there is -- I guess, you know,
11 we see that in certain other markets, right, where coal
12 plants self-schedule into a market, and so they effectively
13 become a price taker. But I will say that that, in the
14 eastern U.S., particularly SPP, MISO, PJM, where we have a
15 lot of coal resources, that behavior has declined over time
16 as the economic consequences of it become real to the folks
17 who operate those coal plants. You know, usually that type
18 of behavior happens if a coal plant has a long-term
19 contract for coal, a take or pay contract. And so it
20 basically, you know, it's economically rational to offer
21 your resource in as a price taker because you need to use
22 the coal. But as contract structures have changed and
23 people get more comfortable with markets, you know, over
24 longer periods of membership, we've seen the amount of
25 self-scheduled coal decline in markets.

1 So I think you might see some of that kind of
2 stickiness as you first transition to a market. But over
3 time, like that is going to be tremendously costly to that
4 coal operator, right, just self-scheduling in to burn coal
5 and take the price in the market, even if -- you know,
6 that's going to end up hurting that entity a lot. So
7 regulators, if it's a regulated entity, regulators will
8 start to notice that. If it's not a regulated entity,
9 customers will start to notice it.

10 So I think the economic kind of driving force
11 there is that it will push people to think about it more
12 rationally and be more price responsive.

13 MR. MCDERMOTT: Thank you, John. I think with
14 that, we will now head into public comment. I do want to
15 just thank both Michael and John for taking the time to
16 talk to us today. Really appreciate it.

17 MS. NAKAGAWA: All right. Mona Badie, our Public
18 Advisor for the Energy Commission, is going to begin the
19 public comment period now.

20 MS. BADIE: Good afternoon, everyone. The
21 Commission, the CEC, and its partners from today's event
22 welcome public comment at this time. And we're going to
23 start with folks in the room, and then we're going to
24 transition over to Zoom, online and by phone. And we've
25 asked folks to use the blue cards, and I'll use that one

1 first, and then we'll also take some raised hands in the
2 room.

3 And for the in-person folks, if you could please
4 come up to this podium and make sure the green light on the
5 mic that's on the podium is on before speaking.

6 And we are also asking for folks to state and
7 spell their name for the court reporter. There's going to
8 be a timer on the screen because we're asking for comments
9 to be three minutes or less.

10 And the first commenter will be Meghan Loper.
11 If you could please approach the podium.

12 VICE CHAIR GUNDA: As we have the commenter
13 coming up, I think there's a number of questions, Jake,
14 that we got. We can't obviously answer all of this Q&A.
15 Love for us to kind of, you know, have a record of them and
16 see if we can communicate back with answers to those
17 questions.

18 MR. MCDERMOTT: Sounds great. Thank you, Vice
19 Chair.

20 MS. LOPER: Good afternoon. My name is Meghan
21 Loper. It's M-E-G-H-A-N L-O-P-E-R. I would like to make
22 my comments this afternoon on behalf of my client, Kathleen
23 Staks, the executive director of Western Freedom and co-
24 chair of the Pathways Launch Committee.

25 Kathleen's very sorry that she couldn't be with

1 you in-person this afternoon, but she was listening earlier
2 today. She's actually presenting about Pathways at another
3 conference today. But she did want to be sure to thank the
4 CEC for hosting this workshop, particularly Vice Chair
5 Gunda, President Reynolds, Commissioner McAllister,
6 Commissioner Houck, for your engagement on the Pathways
7 Initiative from the beginning.

8 Kathleen also wanted to be sure to thank the
9 panelists and facilitators, many of whom were also Launch
10 Committee participants, for their time and efforts over the
11 last several months to make this effort a reality. And as
12 you heard emphasized by several of the speakers today,
13 there was countless hours spent together brainstorming,
14 negotiating, laughing. And Kathleen really did want to
15 express her gratitude to all that had been involved.

16 It's very exciting to see the culmination of this
17 work of a very diverse set of stakeholders, including the
18 state regulators, the consumer advocates, large customers,
19 labor, environmental organizations, investor-owned
20 utilities, public power, and others that presented today.

21 It's also really encouraging to hear the results
22 from the last panelists, both from the Brattle Group and
23 the reliability study from the Woods Institute for the
24 Environment at Stanford. You know, hearing that the
25 positive benefits for affordability, reliability, and

1 climate for California as the result of this potential
2 expansion of the day-ahead market and the continued
3 momentum from Pathways is exciting.

4 It's rare to have an effort that touches on three
5 priority areas for California. And we look forward to
6 continuing to work with those stakeholders, including those
7 that participated today, those who are interested in
8 joining the conversation moving forward, and of course, the
9 members of the legislature to fully achieve these benefits,
10 so thank you very much.

11 MS. BADIE: Thank you.

12 And if there's no other commenters in the room,
13 we're going to transition over to Zoom. So if you're
14 joining us by Zoom online, you'll use the raise-hand
15 feature on your screen. It looks like an open palm. And
16 if you're joining by phone, you'll press star nine. That
17 will let us know you'd like to comment.

18 And the first commenter we have, Nancy Rader, I'm
19 going to open your line. You'll unmute on your end. We're
20 asking for comments to be three minutes or less. And just
21 a reminder to please state and spell your name for the
22 record before beginning.

23 MS. RADER: Uh-oh. There we go. Good afternoon.
24 My name is Nancy Rader, N-A-N-C-Y R-A-D-E-R, with the
25 California Wind Energy Association.

1 CalWEA is supportive of the Pathways Initiative,
2 which is an elegant solution to various concerns related to
3 creating a West-wide RTO. And we really appreciate the
4 enormous efforts that have gone into it. But in the fine-
5 tuning department, we wanted to caution that the state may
6 need to revise its RPS eligibility rules pertaining to RPS
7 product content, Category 1, which was very carefully
8 crafted in the context of our current market situation. It
9 shows that all EM resources are in a pool and won't be
10 tracked with the eTags that we now rely on to track PCC1
11 renewables.

12 So we may need to adjust the RPS eligibility
13 rules to ensure that we continue to require that PCC1
14 renewables outside of the California's balancing authority
15 areas actually deliver to those entities in a way that can
16 be tracked. We'll be putting our ideas forward for how we
17 think we can accomplish that.

18 Thank you.

19 MS. BADIE: Thank you.

20 Next, we're going to hear from Fred Heutte.
21 Apologies if I've misstated your name. And if someone
22 could help me open Fred's line? I seem to have lost my
23 permissions.

24 Fred, just a reminder to please state and spell
25 your name for the record. And we're asking for comments to

1 be three minutes or less. There will be a timer on the
2 screen.

3 MR. HEUTTE: Hi there. First, just to make sure
4 you can hear me?

5 MS. BADIE: Yes.

6 MR. HEUTTE: Okay, thanks. It's Fred Heutte,
7 spelled H-E-U-T-T-E. I'm in Portland and representing the
8 Northwest Energy Coalition.

9 This is a really good session today. We really
10 appreciate the presentation. It's a very thoughtful
11 discussion.

12 A couple comments. I'm the one who asked about,
13 you know, how we advance the state-of-the-art -- your
14 assessment? And I just want to mention one thought, which
15 is, you know, we do different kinds of modeling for
16 different purposes. Not everything will need a fully --
17 you know, the full nine yards of a big production cost or
18 power flow modeling approach.

19 One modeling approach I think might help address
20 the kind of scarcity situation in stress conditions,
21 there's work that's been done at Iowa State over the last
22 decade with Jim Mccauley, Lee Tesfatsion, and their
23 students and colleagues. They did some studies of MISO
24 that are quite interesting in looking at market behavior,
25 you know, kind of our conventional view of that. And then

1 with an agent-based approach, you get some more nuances,
2 especially on things like, you know, kind of short-run
3 behavior. That won't be enough to answer all the detailed
4 questions we have. But I just want to suggest that maybe
5 there are some new options for looking at these questions.

6 The second thing, again, building on the stress
7 condition issue is we've had, as has been mentioned, we've
8 had multiple near misses in the last several years. The
9 July 9th, 2021, Bootleg Fire, you know, happened here in
10 Oregon. But that event was actually a little worse than
11 was described.

12 Most of the AC intertie was shut down because the
13 fire actually went under all three of the AC lines. Each
14 of them have a separate owner, but they're managed as a
15 group by Bonneville. So they relayed out over 4,000
16 megawatts. And another 1,500 megawatts, half of the DC
17 intertie, also shut down to prevent system instability at a
18 time when it was actually quite hot in California. And my
19 recollection is that there was a brief period where CAISO,
20 I think CAISO at least, went to an Emergency Level 2. So
21 we were really close in that event.

22 And again, just a year ago in the big freeze up
23 here in the Northwest, had it not been for the Energy
24 Imbalance Market at a couple of key moments during our
25 event up here, the lights -- we had big distribution

1 outages here in Portland and the Willamette Valley, just
2 from wind and ice loading and so forth. But we were so
3 close to losing the grid in the Northwest. There were also
4 constraints on gas delivery at a couple of points in our
5 system. And we have very high demand. Had it not been for
6 the Western Energy Imbalance Market, we would have had
7 major loss of load in this region without that in a time
8 when the weather was 20 degrees below norm and really,
9 really challenging conditions.

10 So the stakes here are, I just want to
11 underscore, for all of us, not just for California, the
12 stakes are really high.

13 So I just think, again, reflecting on all the
14 great presentations today and discussion, I've been
15 thinking a lot recently, you know, what can I do? But I
16 think even more, my sense is now the real question is: What
17 can we do together? And I think that the development of
18 the EIM, now the EDAM, and the Pathways Initiative gives us
19 a really good place to start building that kind of future
20 where we really do work together in the West.

21 Thank you.

22 MS. BADIE: Thank you.

23 And I think we have another commenter in the room
24 before we go back to Zoom. If you can approach the podium?
25 And then just a reminder to please state and spell your

1 name for the record.

2 MR. COLVIN: Hi, good afternoon. Sorry, I wasn't
3 able to get my blue card in on time, so apologies about
4 that. My name is Michael Colvin, C-O-L-V, like in Victor,
5 -I-N. I'm with the Environmental Defense Fund.

6 I first just wanted to commend what a really
7 fantastic session this was today. It was really great.
8 Seeing that we've been here all day, I want to make certain
9 that I'm brief, So I just wanted to make three really quick
10 points.

11 First, I wanted to emphasize that, at least in my
12 opinion, the public protections that were talked about this
13 morning that are going to be in the Pathways market are
14 amongst the strongest of any organized energy market in the
15 country. We've heard some discussion back and forth of
16 ways that they could still be further improved and I'm all
17 for trying to figure out how we have that conversation.
18 But I wanted to at least recognize the proposal and the
19 consensus that was brought forward is really kind of a gold
20 standard. And we should be thinking of that as our floor,
21 not our ceiling.

22 Second, I wanted to really shout out how
23 incredible the Brattle analysis was for really trying to
24 advance some of the conversation, especially on some of the
25 emissions numbers. This is hard to figure out; right? And

1 it's hard to get directionally right, but I think there's
2 some really great stuff there.

3 I'd like to offer up that they were just
4 presenting CO2 emissions numbers and they weren't thinking
5 about the local emission air quality impacts. They weren't
6 thinking of all the other GHG emissions that were out
7 there. They just sort of did a quick CO2 equivalent.
8 We'll make a public comment -- we'll make a written comment
9 on this as well, but I think we should be thinking through
10 what are the regional impacts of all emissions.

11 And last but not least, and this might be the
12 most sophomoric thing you've heard all day, but the Energy
13 Imbalance Market and the day-ahead market are going to be
14 fantastic tools and are fantastic tools for optimizing
15 existing generation and the existing market. But some of
16 the conversation that we're having today is about how do we
17 optimize new generation built and think about how are we
18 going to expand that and do the resource sharing that we
19 need to do?

20 And I think there's a lot of power in thinking
21 through the scenario analysis that the IEPR is going to
22 have to do anyways, combined with what's going on in the
23 IRP, of what are the new generation resources that we want
24 and why and think through, how do we have a new market to
25 build the new generation for new resources that we don't

1 have on the system yet, things like what the central
2 procurement entity was thinking through? And how do we
3 pair the megawatts for offshore wind or long duration
4 storage or other things with the Pathways market to open up
5 those resources to the rest of the West?

6 And so I think that there is those two
7 conversations happening in parallel right now. And I think
8 eventually we need to think through, how do we stack them
9 in the right way?

10 With that, I thank you so much for your time.

11 MS. BADIE: Thank you.

12 And next, we will go back to Zoom and hear from
13 Brett Garrett.

14 Brett, we're going to open your line. Please
15 unmute on your end. And just a reminder, we're asking for
16 comments to be three minutes or less, there will be a timer
17 on the screen, and to please state and spell your name
18 before beginning. Brett, your line should be open.

19 MR. GARRETT: Sorry, I thought I unmuted myself,
20 but I just -- can you hear me now?

21 MS. BADIE: Yes. Thank you.

22 MR. GARRETT: Okay. Now I'm good. Okay. Yeah,
23 I'm Brett Garrett, B-R-E-T-T G-A-R-R-E-T-T. I'm in Santa
24 Cruz, California.

25 I'm very concerned that Pathways will

1 dramatically reduce the ability of California to control
2 its energy/our energy future. I'm concerned that the new
3 regional organization will sidestep the public interest
4 projections that were put into place in California after
5 the Enron energy scandal and the energy crisis that
6 occurred in 2000 and 2001.

7 I am concerned that California could be forced to
8 abandon our clean energy goals and we could be forced to
9 purchase coal from states like Wyoming, being in, you know,
10 in this cohort of states that includes coal states.

11 A regionalized ISO is very vulnerable. Your good
12 intentions could be overruled by Trump's FERC with no
13 accountability to our governor and legislature or CPUC.
14 Labor has often opposed regionalization because it
15 undermines requirements to build renewable energy
16 infrastructure here in California, not in other states
17 where it might be cheaper to build.

18 Please don't force California to pay for
19 transmission infrastructure throughout the West. Don't
20 cede California's energy governance to the Trump-controlled
21 FERC or to coal-producing states. Don't allow the CAISO
22 algorithm to run rampant, possibly increasing rates without
23 the existing protections.

24 I believe there's no need for CAISO
25 regionalization. California already trades electricity

1 with other states, but currently we do so subject to
2 California regulatory control. Once we give up that
3 control, new projects will be built in other states where
4 it's cheaper, increasing the need for more transmission
5 lines, increasing the risk of wildfires, such as the
6 current disaster in Los Angeles.

7 So I'm basically opposed to the Pathways
8 Initiative as I understand it. Any changes in our system
9 must take strong steps to maintain California's existing
10 protections that were established in the wake of the Enron
11 scandal. For example, incorporation in California, not
12 Delaware. It's important to comply with California's
13 public interest requirements for not-for-profit
14 organizations. We need transparency and accountability,
15 appointment of the board by the California governor and
16 confirmation by the California State Senate.
17 Accountability to California end users and ratepayers, the
18 obligation to serve, accountability to uphold California
19 energy and environmental policies.

20 I'll mention that I'm really excited about the
21 prospects for distributed battery resources, especially
22 with SB 59 requiring electric vehicles to be equipped for
23 bidirectional charging. Electric cars will probably have
24 10 times the amount of batteries that the CEC has said we
25 need.

1 Distributed energy storage where people are.
2 Build resources on rooftops and parking lots. Please don't
3 promote a system that increases California's reliance on
4 transmission infrastructure in other states. And please
5 don't put California at risk for another Enron type
6 scandal.

7 Thank you.

8 MS. BADIE: Thank you.

9 Next, we're going to hear from Scott Ranzal.
10 Scott, we're going to open your line. Another reminder,
11 we're asking for comments to be three minutes or less.
12 There will be a timer on the screen. And to please state
13 and spell your name for our court reporter before
14 beginning.

15 MR. RANZAL: Great. Just want to make sure you
16 can hear me before I start?

17 MS. BADIE: Yes. Thank you.

18 MR. RANZAL: Excellent. My name is Scott Ranzal,
19 Scott R-A-N-Z-A-L. I am with Pacific Gas and Electric
20 Company that serves Northern and Central California. I am
21 also a member of the Launch Committee and the now Formation
22 Committee that exists for the pathway initiative.

23 I wanted to first start, like many before me, and
24 say thank you, not only to the leaders from CARB, CAISO,
25 CPUC and the CEC that joined us today, but the many people

1 that have dedicated an enormous amount of time to seeing
2 this effort get this far.

3 I want to encourage. I was very encouraged by
4 the results both from the Brattle and the Stanford study.
5 They support what we already believed to be outcomes that
6 we thought would take shape and have the ability to help
7 the West move itself forward.

8 I will comment that one of the things that was
9 brought up today is this idea of step-by-step incremental
10 movement which has been a very productive process for the
11 West, not only in logically moving forward and allowing the
12 states and the markets to achieve what they need, but also
13 to establish and build a trusting culture that allows us to
14 move forward as a Western United States to serve all the
15 customers across the West to protect the state's rights and
16 authorities that already exist to ensure that consumers as
17 well as public interests are also protected. These were
18 front most of importance to many on the Launch Committee
19 and continue to be. And I look forward to the continued
20 progress and effort moving forward.

21 Thank you.

22 MS. BADIE: And I'm not seeing any other raised
23 hands.

24 Just another reminder that written comments are
25 also welcome. There's instructions in the notice for

1 today's event of how to submit. And the deadline is
2 February 7th.

3 I'm going to hand the floor back to Vice Chair.

4 VICE CHAIR GUNDA: Thank you, Mona.

5 And thank you to all the commentators, Meghan,
6 Nancy, Fred, and Brett, Scott and Michael, you know, and
7 really appreciate, you know, the comments, both in terms
8 of, you know, the support and opportunity, but also
9 concerns. And I think that's an important part of having a
10 public discourse and thinking that through.

11 I also want to just take a minute to think the
12 CEC staff. You know, Sandra, thank you, from the IEPR
13 team, Mona, Jake here who has been a big part of the
14 conversation today, and David in the back there. So thank
15 you so much for all the work you've done to set this, set
16 the table.

17 I also want to thank Jane Park from our office
18 who has been a part of the regional work over the last
19 year. Jane, thank you. People like you more than me, so
20 that's really helpful to have you in our office.

21 And just all the panelists who have taken the
22 time today to be a part of this conversation and help us
23 move the overall conversation forward, and the dais here,
24 thank you, everybody.

25 I look forward to getting comments. Part of the

1 reason we held the workshop is to showcase the progress,
2 promote awareness of what's happening, you know, share the
3 preliminary results of the Brattle study. Really look
4 forward to the input so we can make the study better, but
5 also any other feedback we have as we go into this year.

6 I also want to call out our Chief Counsel's
7 Office who has been an important part of this conversation
8 in the back, and all the Launch Committee members.

9 So with that, I will pass it back to you, Sandra,
10 for any closing things.

11 MS. NAKAGAWA: That's all we have. Thank you so
12 much.

13 Again, the deadline to submit public comment is
14 February 7th at 5:00 p.m. And instructions to do so can be
15 found on the workshop notice.

16 Thank you, everyone.

17 (The workshop adjourned at 4:02 p.m.)
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 10th day of March, 2025.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.

March 10, 2025

MARTHA L. NELSON, CERT**367