

DOCKET**11-IEP-1N**DATE DEC 17 2010RECD. JAN 03 2011BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 11-IEP-1N
)
 Preparation of the 2011 Integrated)
Energy Policy Report)

**IEPR Committee Workshop
Smart Grid Research Road Mapping Projects**CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIAFRIDAY, DECEMBER 17, 2010
10:00 A.M.Reported by:
Kent Odell

COMMISSIONERS

Karen Douglas, Chair
Robert Weisenmiller

STAFF

Suzanne Korosec
Mike Gravely

ALSO PRESENT

Presenters

Heather Sanders
Angela Chuang
Kevin Passo
Mike Montoya
Lee Krevat
David J. Tralli
Steve Rupp
Chris Villareal
Merwin Brown
Bob Russ

Public

Walt Johnson
J.D. Stack
Laura Manz

INDEX

	Page
Introduction	
Suzanne Korosec, IEPR Lead	5
Opening Comments	
Chairman Karen Douglas	10
Commissioner Robert Weisenmiller	10
CAISO Smart Grid Road Map & Architecture	
Heather Sanders, CAISO	11
Smart Grid Contract Overview and History	
Mike Gravely, CEC	20
Defining the Pathway to the California Smart Grid of 2020 for Investor Owned Utilities	
Angela Chuang, EPRI, Project Manager	31
Kevin Dasso, Pacific, Gas & Electric Company	42
Mike Montoya, Southern California Edison	58
Lee Krevat, San Diego Gas & Electric	66
Defining the Pathway to the California Smart Grid for 2020 for Vendors and Manufacturing	
David M. Tralli, NASA Jet Propulsion Lab	80
Defining the Pathway to the California Smart Grid of 2020 for Publicly-Owned Utilities	
Steve Rupp, RW Beck	104
Questions and Answers Period	113

INDEX (Continued)

	Page
Implementation of Senate Bill 17 - Chris Villareal, PUC	117
Public Comment Period	129
Action Items and Next Steps Mike Gravely, PUC	137
Adjournment	139
Certificate of Reporter	140

P R O C E E D I N G S

1
2 DECEMBER 17, 2010

10:08 A.M.

3 MS. KOROSEC: All right, we're going to go ahead and
4 get started here. Good morning, I'm Suzanne Korosec. I
5 manage the Energy Commission's Integrated Energy Policy
6 Report Unit. And welcome to today's Workshop on Smart Grid.
7 This workshop is being conducted jointly by the Energy
8 Commission's Integrated Energy Policy Report Committee and
9 the PUC. Unfortunately, Commissioner Ryan from the PUC had
10 a last minute conflict and is unable to join us, but we will
11 be certain that her office receives a summary of the
12 workshop, along with the transcript of today's discussions.

13 This is the second in a series of workshops looking
14 at the technologies that are available to further
15 California's Energy Policy Goals and to reduce the impacts
16 on the California Grid of meeting those goals. On November
17 16th, we looked at energy storage and automated demand
18 response, and today we're looking at technologies that will
19 make the future smart grid work. These workshops are
20 informed by the Public Interest Energy Research, or PIER
21 Program, which assists the IEPR process by providing the
22 latest information on what technologies will influence
23 future policy. Today's workshop will help us understand how
24 the different key players, the investor-owned utilities, the

1 publicly-owned utilities, and the industry see the Smart
2 Grid of the future and what technologies will have the most
3 promise in helping California succeed.

4 Before we get started, I want to cover some
5 housekeeping items, give some brief context for how the
6 topic of Smart Grid has been covered in past IEPRs, and
7 provide a quick overview of today's agenda. For those of
8 you who may not have been here before, the restrooms are out
9 in the atrium through the double doors and to your left. We
10 do have a snack room on the second floor at the top of the
11 atrium stairs under the white awning, and if there's an
12 emergency and we need to evacuate the building, please
13 follow the staff out of the building into the park that is
14 diagonal to the building, and wait there until we're told
15 that it's safe to return. And remember to bring your
16 umbrellas.

17 Today's workshop is being broadcast through our
18 WebEx conferencing system and parties need to be aware that
19 we are recording the workshop. We will make an audio
20 recording available on our website within a couple of days,
21 and we'll make the written transcript available on the
22 website in about two weeks.

23 The Smart Grid and the IEPR - the 2009 IEPR
24 discussed the crucial role of the Smart Grid in California's
25 future electricity system, particularly as the state

1 implements energy policy goals for increased energy
2 efficiency and demand response, increased renewable
3 resources to generate electricity, and also increased use of
4 electric vehicles to displace petroleum use.

5 Smart Grid Technologies will also increase the
6 reliability of the electric grid by allowing grid operators
7 to better monitor grid performance and address problems more
8 quickly, which reduces the number of failures and faults,
9 and increases the efficiency and cost-effectiveness of the
10 Grid. Smart Grid will also provide new methods and
11 technologies to implement energy efficiency and demand
12 response through increased two-way communication, smarter
13 consumers, and products and tools that allow consumers to
14 make smarter energy decisions.

15 Smart Grid will also help integrate renewable
16 resources into the Grid through management of energy
17 storage, distributed generation, automated demand response,
18 and distribution level renewables, allowing the Grid to
19 accept much higher levels of renewable resources while
20 maintaining reliability. Smart Grid is also going to allow
21 the integration of high numbers of electric vehicles and
22 plug-in hybrids, without causing major disruptions on the
23 Grid, and could even allow those vehicles to be used as Grid
24 assets that could provide ancillary services when parked.

25 In the 2010 IEPR Update, the draft of which was

1 released earlier this week, we discussed cost share funding
2 from the PIER Program that was used to leverage millions of
3 dollars in Federal Stimulus funds for Smart Grid research.
4 PIER has awarded more than \$13 million to 17 Smart Grid
5 projects, leveraging more than \$400 million in Federal
6 Stimulus funds, along with more than \$800 million in private
7 investments. This amount of funding for Smart Grid research
8 represents a ten-fold increase over what's been done in the
9 past. And this influx of additional funding is really going
10 to accelerate the rate of industry growth and allow the PIER
11 Program to make a quantum leap in achieving its research
12 goals in support of our energy and environmental policy
13 goals. This funding is also going to help California
14 achieve the goals in the Governor-Elect's Energy Plan for
15 adding 12,000 megawatts of distributed generation and 8,000
16 megawatts of large scale renewables, as well as using energy
17 storage to address peak power demand and to firm up
18 intermittent renewable resources.

19 For the 2011 IEPR, the IEPR Committee released a
20 scope earlier this year, noting the need to examine energy
21 storage issues, renewable integration, and electricity
22 infrastructure planning, and Smart Grid is clearly a key
23 component of each of those areas. So, for today's agenda, I
24 will hear first from Heather Sanders, from the California
25 Independent System Operator, about the CAISO's Smart Grid

1 Objectives and Strategies; next, Mike Gravely from the
2 Energy Commission's PIER Program will provide an overview
3 and history of the Smart Grid Research Road Mapping projects
4 that are being funded by PIER; that will be followed by
5 presentations on the three projects by EPRI, JPL, and RW
6 Beck. We will hear about the Smart Grid and the Investor-
7 Owned Utilities this morning, we'll break for an hour for
8 lunch, and then we'll resume in the afternoon to the
9 presentations on the Road Mapping Projects for Vendors and
10 Manufacturing, and then for the Publicly-Owned Utilities.
11 And there will be an opportunity for Q&A after each
12 presentation.

13 Later this afternoon, we'll hear from the PUC on the
14 status of its implementation of Senate Bill 17, which
15 requires the Investor-Owned Utilities to develop and file
16 Smart Grid Deployment Plans with the PUC by July 1 of 2011.
17 We'll then open it up to public comments, after which Mr.
18 Gravely will talk a bit about Action Items and Next Steps.
19 During the public comments section of the agenda, we'll take
20 comments first from those of you here in the room, and then
21 we'll turn to the people who are participating on WebEx.
22 For those of you who are here in the room, it's helpful if
23 you can speak at the center podium and use the microphone so
24 we can capture your comments in the transcript, and it's
25 also helpful if you can give our transcriber your business

1 cards so we make sure that your name and affiliation are
2 correctly reflected. WebEx participants can use the chat
3 function to let the WebEx Coordinator know that you have a
4 question or comment, we'll open your line at the appropriate
5 time, and we are also accepting written comments until close
6 of business on January 7th. And the Notice for today's
7 workshop, which is available on the table in the foyer, and
8 also on our website, gives the procedure for submitting
9 those comments to the IEPR Docket. And with that, I'll turn
10 to the dais for any opening remarks.

11 CHAIRMAN DOUGLAS: Good morning. Welcome, everybody
12 and thanks for being here so late into December, relatively
13 late into December. I'm certainly looking forward to all of
14 the presentations and I'm looking forward to hearing from
15 everyone here.

16 COMMISSIONER WEISENMILLER: Good morning. I'm
17 Commissioner Weisenmiller. We, again, appreciate everyone's
18 participation today, and certainly we're looking for - this
19 is an interesting topic for us in terms of looking at how
20 the PIER research links to the California policy objectives.
21 Obviously, Smart Grid is very important on a national level,
22 California is the home of Silicon Valley, we hope will drive
23 that process, and at the same time, given the state's policy
24 goals, particularly the goals of the new Governor-Elect,
25 we're very interested in seeing how the Smart Grid and the

1 California versions of that should really be fine-tuned to
2 deal with demand response, distributed generation, and
3 renewable integration issues. So, again, thanks for your
4 participation, and let's move on.

5 MS. KOROSSEC: All right, we'll start with CAISO.

6 MS. SANDERS: Thank you. Good morning, Commissioner
7 Weisenmiller, Chairman Douglas. My name is Heather Sanders
8 and I am the Director of Smart Grid Technology and Strategy
9 for the California ISO. I really appreciate the opportunity
10 to share with you our recently published Smart Grid Road
11 Map. There's been, as you all know, so much industry
12 momentum around the Smart Grid, and with all of the
13 aggressive energy policy goals, the ISO felt like it was
14 time for us to really solidify our direction, at least at a
15 high level, related to Smart Grid, and communicate this to
16 our stakeholders and really start to engage. So, about
17 early this year, we engaged with EPRI and Internex to
18 support a road mapping effort for us. So, what we did is we
19 started out with, you know, the California policy
20 objectives, as well as the ISO objectives in mind. You
21 know, you always hear from the ISO, first and foremost is
22 the reliability. You know, energy policy goals will all
23 fall by the wayside, you know, if the lights don't stay on.
24 So, with all of the renewables, you know, a lot of this,
25 Suzanne already mentioned, we're going to need better

1 visibility into what's going on at the System. We also need
2 to ensure we utilize all the assets we have to improve the
3 efficiency as best we can. Flexibility is also going to be
4 very important for the ISO, as all of these variable
5 generation resources come into the market.

6 You know, currently we balance the system with
7 conventional generation, but enabling diverse resource
8 participation by storage, by demand response, and
9 conventional generation where needed, we'll have the
10 flexibility to balance that variability in the most cost-
11 effective way. And, of course, all of this has to be done
12 in a very secure way.

13 So, the result of this work, this road mapping
14 effort, our strategy really centers around five technology
15 themes, Advanced Forecasting, Synchrophasors, Advanced
16 Application, Cyber Security, and then a very long name,
17 Enabling Demand Response Storage and Distributed Energy
18 Resources. I'll talk about each of these a little bit. The
19 goal today is to really provide you a high level view of
20 what's in our road map document that is published. What
21 we've included, and I've put these on the slide so you'll
22 recognize them in the road map document, we include a vision
23 for each of the technology areas, and then there's a
24 description in there that describes from the ISO perspective
25 why each of these technology areas are important. And then

1 a 10-year forward look on the road map. Now, we all
2 recognize, and we did this based on the energy policy goals
3 we have now and our understanding of the current technology
4 and what's emerging and its current capabilities, but we
5 fully expect this to evolve over time. You know, things are
6 going to change, we're going to engage with stakeholders, do
7 pilots, do research, and then adjust this through time. So,
8 looking at advanced forecasting, I'm just going to point out
9 a couple of highlights from each of those. You know, what
10 the ISO needs to do is really evolve our renewable
11 forecasting capability and also increase our visibility into
12 the distribution system. So, wind blows, sun shines, we get
13 generation, but we don't know when that's going to happen.
14 And in order for the ISO to commit resources to meet the
15 load at that time, which is now not just load that we
16 understand, that we've understood for the last 100 years,
17 it's load that is now affected by distributed PV that is now
18 reducing the amount of load that the Grid sees, it is
19 changed by the proliferation of the electric vehicles, and
20 it's also changed by any price responsive demand. And the
21 ISO has to be able to understand this to most effectively
22 commit resources, so we have them available, but we also
23 don't over-commit them, either.

24 So, from a forecasting perspective, you know,
25 there's really three areas, and if you notice the different

1 colors, it really represents a loose grouping of activities
2 within each of the technology themes, so wind forecasting,
3 solar forecasting capabilities, as well as understanding how
4 we're going to get that visibility into the proliferation of
5 PV. I mean, there's very aggressive goals about distributed
6 generation, as we know, so we're trying to look forward to
7 understand how we model that in our systems.

8 Moving on to the synchrophasor theme again, you'll
9 notice the vision and the 10-year look ahead on here. You
10 know, synchrophasors provide measurements very frequently,
11 more frequently than we have today. Synchrophasors have
12 been around for a long time. You know, it's only now with
13 the advancement in communications and the data processing
14 speeds that we're able to use this data more effectively.
15 What this can provide us is a real time view of what's
16 happening on the grid right now. This data can also be used
17 to trigger automated alerts to operators and, eventually,
18 automated controls that can resolve problems before they
19 result in widespread Grid instability.

20 So, once we have synchrophasor measurement devices
21 out there, we have forecasting equipment out there, we can
22 start to use this data in advanced Grid applications. This
23 will help us see it better, use it better, and make sure
24 it's reliable overall. There's a lot of possibilities in
25 advanced Grid applications, and a couple things, you know,

1 there are technologies now, there is still a lot of work
2 that needs to be done, but there are technologies now that
3 we can understand the conditions that are going on where the
4 transmission lines are, you know, what is the ambient
5 temperature, what is the wind speed, what is the tension on
6 the line. And if we can reliably get this data back in, we
7 can dynamically rate the transmission lines, therefore,
8 getting the most out of them at any particular time. We
9 still have work to do on this, we need to do more research,
10 we need to make sure it's reliable to ensure we meet all the
11 reliability criteria, as well.

12 Another advanced application that is important for
13 the ISO is to improve our what we call "regulation
14 algorithm" or AGC, Automated Generation Control algorithms.
15 Right now, those control algorithms help us manage frequency
16 on a second-to-second basis. They are reactive, in nature.
17 So, we take a state of the system, we dispatch the
18 generators to follow that. The system is going to become
19 more and more dynamic, including all of the renewables on
20 there, the storage, we need to make sure that those dynamic
21 models are built into this AGC algorithm and that it also
22 looks ahead, that this can become a more predictive
23 algorithm and it will closer bring the market, which is a
24 forward looking commitment with the AGC algorithms, which
25 right now are very reactive, so this is a very important

1 part of our research activity, actually, this coming year.

2 So, of course, the more applications you have, the
3 more equipment out there, the more places where we have
4 vulnerabilities. Cyber security has to be built in from the
5 beginning. There is a lot of activity on cyber security,
6 the National Institute of Standards and Technology, as well
7 as the PUC proceeding right now is taking hard looks at
8 security, and I know all of us are, as well. So, this is
9 pretty straightforward, it is something that we all
10 recognize needs to be there.

11 Finally, you know, this is the area that really
12 comes to a lot of the energy policy goals we have right now.
13 A standard flexible infrastructure that can really push
14 forward, you know, the demand response and storage and
15 distributed energy resource objectives. There's a lot going
16 on in this area, you know, I mentioned this before, but
17 really from a technical and a reliability perspective, the
18 ISO has to understand how this is going to work. With what
19 demand response could provide us, we need to work with the
20 utilities, work with the demand response aggregators, to
21 understand what could happen. You know, if we have everyone
22 respond at once, that causes a frequency problem. We need
23 to manage this, we need to understand how this could work,
24 and how it could work together. You know, one observation
25 is the California Clean Energy Future, you know, strongly

1 mentions Smart Grid technologies and how they will support
2 the demand response objectives through dynamic pricing, and
3 also the integration of renewable resources. So, we need to
4 make sure that we understand how these things could happen,
5 how they will work, so there aren't any unintended
6 consequences. So, this is a really big area of focus for
7 us.

8 So, this red map really represents our initial
9 thinking and it's at a high level, and really what we want
10 to do is we want to engage with all of you, we want to
11 engage with our stakeholders, we want to understand your
12 objectives, we want to integrate this and work all together
13 to advance these goals. So, again, thank you very much for
14 your time, and I look forward to future conversations.

15 COMMISSIONER WEISENMILLER: Hi. I have a few
16 questions. The first one is, and actually they are
17 combinations of process, technology, and all that. But
18 starting out with the process one, I guess, or it's probably
19 more of an observation, is that one of the things we need to
20 do this year in the California Clean Energy Vision is to tee
21 up a process for our three, or for all four of the agencies
22 to actually spell out the Smart Grid component, and so I
23 think it's certainly trying to put our staff and certainly
24 the ISO and the PUC on notice that we need to start building
25 out that overall vision there and assigning the roles and

1 responsibilities there. And obviously, to the extent this
2 IEPR can provide a forum for some of that laying of the
3 groundwork, that is at least part of my objective. I don't
4 know if you've given much thought to how the three agencies
5 in terms of their areas of responsibility and work here, how
6 best can we move forward. I know there is the PUC OIR, we
7 are seeing the framework, but also in terms of trying to
8 make sure that what we need to do here, presuming we're PIER
9 oriented, and what the CAISO has to do, all gets in place
10 this year.

11 MS. SANDERS: Yeah, that makes a lot of sense. I
12 think the forum, the California Clean Energy Future and the
13 work done there, I think that's a really great place to
14 start and, you know, as that gets built out, it will make
15 sense to define how it fits into the IEPR.

16 COMMISSIONER WEISENMILLER: Now, the next question
17 is that, as we - obviously, a lot of our PIER research is
18 really focused on transmission. You talked about the
19 synchrophasor part. Now, how far can we go from the
20 synchrophasor, that system, into reading into the
21 distribution system, to move out of transmission into
22 distribution?

23 MS. SANDERS: So, how can we use the synchrophasor
24 technology to get visibility into the distribution system?

25 COMMISSIONER WEISENMILLER: That is correct. Or do

1 we need to do adaptations or new technology to get that same
2 sort of MRI-like tracking, not just on a transmission
3 system, but on the distribution system, particularly as we
4 put more and more distributed generation on the circuits.

5 MS. SANDERS: Yeah, I think that's a very
6 interesting concept and, in fact, Michael Montoya from SEC
7 is doing some of that in the demonstration project, the
8 Smart Grid Demonstration Projects they have, and so we're
9 very interested in how that can give us that visibility.

10 COMMISSIONER WEISENMILLER: Does the ISO have a
11 sense of what circuits in California have very high levels
12 of DG, so that we can start trying to hone in on tracking
13 what's going on in those circuits?

14 MS. SANDERS: I don't know that we've done a study
15 of that yet. I mean, we are not at the penetration levels
16 now on the distribution circuits to have it, you know, show
17 up. But it is something we need to take notice of, it's
18 something that's in our minds, and it is important, and
19 we'll be working with the IOUs to get something that makes
20 sense for both sides, to get visibility.

21 COMMISSIONER WEISENMILLER: Yeah, I was told by Jim
22 Avery that they have some circuits already that are getting
23 to high levels, and they're seeing voltage swing, so if we
24 can try to start identifying among the IOUs or POUs anywhere
25 high distribution circuits - high penetration distribution

1 circuits, we can start trying to monitor those and see what
2 types of issues come up.

3 MS. SANDERS: That makes sense.

4 COMMISSIONER WEISENMILLER: Okay, thanks.

5 MS. SANDERS: Thank you.

6 MR. GRAVELY: Good morning, Commissioners. Good
7 morning, everybody here. I'm Mike Gravelly from the Public
8 Interest Energy Research Program. What I'd like to do today
9 is just give a little bit of a lead-in to the rest of the
10 day's session, and talk about the specific research that
11 we're doing today and you're hearing about, and give you a
12 little bit of insight of the schedule because each contract
13 is on a different schedule, so you'll hear different levels
14 of detail based on how much they've completed. For those,
15 just a quick review, that the primary purpose today is a
16 technology review, so this is kind of a technology process.
17 We are going to be talking policy and questions. We
18 envision another workshop in the spring that we'll be
19 talking more specifically about what we've learned and how
20 we can take this into some policy questions and research
21 questions and GAP questions, but part of the discussion
22 today - most of the discussion today - is going to be on how
23 the technology looks, what technology challenges there are,
24 what successes are coming, what areas are missing, and how
25 that view may be different from the perspective of the large

1 utility, smaller utilities, and the vendors and the
2 providers of those services. But, throughout the day, we'll
3 talk about other PIER research in Smart Grid areas, and
4 we're certainly willing to have some questions, if they're
5 asked, throughout the day to answer some of those questions,
6 and ultimately this is an opportunity for us to discuss a
7 view looking ahead, and also to highlight as we've already
8 begun to discuss things that we should look into, like, for
9 example, the synchrophasors at distribution level vs.
10 transmission level, that's a good topic for us to begin to
11 look and see what is being done, and what should be done, as
12 we do more and more distributed resources.

13 For those online and those here that aren't familiar
14 with the PIER program, we have been around since 1996,
15 started in 1997, we look at electricity, natural gas, and
16 the transportation sectors, about 80 million, used on the
17 average by 85-86 million a year. In research, there are
18 quite a few active projects. We focus a lot on clean
19 energy, we focus a lot on research to address the policies
20 in California, and move us forward, so we see Smart Grid as
21 one of the key enabling technologies, I don't think Smart
22 Grid is the end of the road, Smart Grid in our mind is the
23 technology that makes everything else work and brings it
24 altogether.

25 Why Smart Grid is important to us, it's just a quick

1 summary that we use a lot in the presentations I give, it's
2 certainly in the recent election in California, we
3 reevaluated how important the environment is to California.
4 Smart Grid is an enabler to allow the green grid and green
5 technologies to operate more efficient, more effective, and
6 better use of existing resources, as well as providing new
7 low cost technologies that may provide more for less. We
8 have, for example, one of the research areas that we do in
9 the PIER Program is we look at long term research in certain
10 areas, and the goal is to have something that is 10 times
11 the cost, 10 times better performance, that goes out there
12 and meets the needs so we have the opportunity to reduce
13 costs and increase performance with technology.

14 Grid operations, being able to operate with
15 distributed resources, as well as essential resources, and
16 have better reliability than we have today. For example,
17 one of the things people measure in reliability is not only
18 how often you're out or down, but how long you're down and
19 how fast you can recover, so the ultimate goal is to have
20 less outages, when you have an outage, to recover faster,
21 and also to be able to detect it sooner.

22 The big picture here today, of course, is this is
23 all about the customers of California, and the ratepayers
24 that are out there, making the system better for them,
25 overall lowering the cost as we go into the future, giving

1 more choices to the customers, and also providing better
2 products. We use an analogy here a lot in the cell phone
3 arena, you know, if you look at a Smart Phone today and you
4 say, "Is that a phone, or is it a lot more?" And most
5 people will say a Smart Phone is a lot more than just a
6 telephone, and so the Smart Grid, it is a lot more than just
7 electrons flowing around the Grid.

8 As we mentioned earlier, we are in a real
9 interesting time in the research community. The PIER
10 Program, as a result of the ARRA awards nationally, there is
11 some \$8 to 10 billion, if you figure the government money
12 plus the match money, over \$1.3 billion of that is coming to
13 California, a lot of technology demonstrations, lots of
14 information to learn. So, one of the challenges we have is
15 to, as you'll hear from the utilities, is to learn from this
16 and to move forward. So, some of the concepts today are
17 looking at what we will learn from these different projects
18 and how that will affect the Grid in the future.

19 This research that we have today actually came out
20 of a project that we did, the report is available in a paper
21 copy for those that are here, it is available online, the
22 link to it is in the announcement for this workshop. So, we
23 actually asked EPRI to look at us and say, "What are all
24 things Smart Grid?" And this report explains all the
25 elements of Smart Grid, it explains what some of the

1 challenges are and what the future view was, and as a result
2 of that, we evolved the work we see today, and that was we
3 really need to sit down and develop kind of a vision of how
4 it all integrates, and we started off thinking about that we
5 want a utility view and we want an industry view because how
6 a utility processes things and the schedule they do, and
7 their way of doing it is one perspective; how commercial
8 industry and for-profit business operate and think is
9 different also. So, we wanted to hear two different
10 perspectives, and then merge the two to come up with kind of
11 a consolidated or combined perspective for California. And
12 as we got into it, we realized that the public utilities
13 have some unique perspectives, different from large
14 Investor-owned utilities, and so we added to that
15 perspective the third contract, which you'll hear about
16 today, which is going to look at the view of Smart Grid from
17 the public utility perspective. And also, those of you who
18 are familiar with SB 17, the Investor owned utilities have a
19 deadline of 1 July 2011 to come up with their deployment
20 plan, the public utilities have 1 July of 2012, so they are
21 also part of SB 17, and they also will be developing
22 deployment plans and road maps for each of their own
23 utilities.

24 One of the important things about the presentations
25 today and the work we've done is we didn't ask a national

1 question, we wanted to look at California. California is
2 perceived by most, both nationally and internationally, as
3 the Smart Grid state. We have a lot of very aggressive and
4 very environmentally sensitive and customer oriented
5 policies. The Greenhouse Gas Reduction, AB 32, the RPS
6 Goal, the Efficiency Goals, the Distributed Generation
7 Goals, Transportation Goals, and so we wanted our Smart Grid
8 to support California's future view, and that would be
9 different than other states. And when I've given this
10 presentation all around, I always point out the fact that we
11 have to look at where we're going. We have made decisions
12 to install smart meters and we're installing smart meters.
13 We have made a decision that we need more renewables and
14 we're installing renewables, so it's important for this
15 Smart Grid discussion you hear today, to hear how California
16 will proceed, and other states and other agencies that look
17 at it, it could be different for them because they may not
18 have the same combination, but they're looking to us to lay
19 the groundwork. And I think we've found in my travels and
20 discussions and research that a lot of people are looking to
21 California to help resolve some of these questions so they
22 can follow in the footsteps of what we're doing.

23 Two quick challenges you'll hear a lot about,
24 obviously the integration of renewables, this shows the wind
25 perspective, it's one of the best charts I've seen, to show

1 the difference in how it affects the systems that provide
2 the generation. On the upper left, you can see the lower
3 parts, those systems, nuclear systems and other systems that
4 like to just turn on and operate and not vary, and in the
5 lower right, you see that they have to move a lot of
6 variations, and so those are not operations that are
7 supportive for their performance, and their long-time life,
8 and so we need to find ways to level off those peaks with
9 distributed assets, with storage, and other things so we can
10 operate the Grid successfully in the future with large
11 penetration of renewables as we do today with the smaller
12 penetrations. So, you'll hear today about different
13 technologies that will help us do that. And solar itself,
14 in California we already have a lot of solar energy, but it
15 does ramp up very fast, and it does ramp down very fast in
16 the evening, and so, as you've heard from the ISO, that
17 creates some challenges. If you know what's going to happen
18 and you plan for it, that's one thing, if you know it's
19 going to happen and it doesn't happen the way you planned,
20 that's the second problem, and if it happens and you didn't
21 even think about it, that's the third problem, and we have
22 all those problems occurring with these systems, but they
23 are all manageable and there are options of how to handle
24 this so that we can continue. It's pretty clear, certainly
25 in California and a lot of the country now, that the desire

1 to use more and more renewables is everybody's desire, and
2 nobody seems to be backing off from that.

3 Just a quick understanding, so the contracts we have
4 today, you'll hear this morning from EPRI, the three IOUs,
5 and their contract is actually almost over, they have
6 drafted their final report and we expect to publish that
7 report in a few months. You will hear the details of those
8 reports and analysis, so questions and answers, they have
9 done their whole project, and so they should be able to
10 provide some pretty good answers and some pretty good
11 questions. Obviously, every time you learn something new,
12 there may be something they would like to do, but they are
13 at the point of wrapping up their contract and sharing
14 everything from there, so this is a first discussion. We
15 have a little more time because we envision one more detail
16 and two more questions, and I would encourage people to ask
17 questions.

18 In the afternoon, the contract with JPL is about
19 half over, so they have just begun doing their stuff,
20 they're just getting their assessments, and they're
21 interested in feedback on what they should think about, as
22 well as what they've done, so you'll hear a little bit about
23 how far they're going, how they're thinking, and what
24 they're going to do over the next several months as they
25 complete their research and wrap up their report. And then

1 RW Beck, you will hear that their contract - Steve, has it
2 been signed? I think we're really close, but - so we have a
3 signed contract in days, so you will hear from them on what
4 they propose to us as a plan, and they will listen and be
5 interested to learning what the questions and issues are so
6 they can address those, and they'll talk to you about some
7 of the challenges that they see going forward as a spokesman
8 in developing a centralized view for the Public Utilities.
9 So, we'll have the three perspectives. After each
10 discussion, there's time for questions on that particular
11 speaker and, at the end of the day, there will be some
12 discussions for any of the topics. And, again, if questions
13 come up, in addition to these what kind of PIER research is
14 going on, that may address a separate question, we'll be
15 glad - either myself or my staff - we'll be glad to answer
16 questions on that from there, and then we'll see. It is a
17 Friday, which most people consider the last work day before
18 Christmas, so I appreciate everybody around here, and we'll
19 do our best to be efficient, but we do want to answer
20 questions and we do want the feedback to both our staff, as
21 well as the researchers that you'll hear from, from there.
22 And with that, I guess I'll just do one quick thing and that
23 is, can we get some confirmation from somebody on WebEx that
24 they're hearing okay and we're not going to miss anything,
25 just somebody that can type in chat that everything is okay.

1 I know one of our previous workshops, we had a little
2 problem with the voice, and I wanted to be sure before we
3 got into the discussion that everybody is okay online.
4 Yeah, would somebody just raise your hand on the chat box,
5 or type in the fact that the quality of the sound is okay
6 and you're seeing the picture, just before - okay, thank you
7 all very much. And with that, I will introduce our first
8 speaker here.

9 COMMISSIONER WEISENMILLER: Okay, Mike, I had one
10 more question for you, just to make sure we're all on the
11 same page. Do you have a concise definition of Smart Grid?

12 MR. GRAVELY: Uh, well, I think - I want to answer
13 that question by saying part of the questions that you'll
14 hear today from the presenters is to come up with a
15 definition of what Smart Grid is today at 2010 and what will
16 it be in 2020. I think, in general, what we have used a lot
17 from the research perspective, I do not believe a unified
18 definition exists, I don't think a policy definition exists.
19 I think, depending on who you go to, Smart Grid is
20 everything to everybody. What we have consistently seen,
21 though, is that the Smart Grid is a merging of the
22 information technology communications world and the utility
23 power industry. And one of the challenges when we first
24 started three or four years ago, and we actually were doing
25 Smart Grid research before it was a recognized Smart Grid,

1 certainly for the policy in the country was approved, is in
2 fact one of the challenges is you have to merge the Internet
3 protocol world with the power engineering world. And
4 actually, I have talked with people from four or five years
5 ago that said they would be getting a room, and people would
6 walk out, they didn't communicate. And I think we're way
7 beyond that now, but early on. And the standards and
8 concepts, so the concept of how an IP standard is addressed,
9 and how they handle problems, is not the same process that
10 is handled for a power engineering Grid related issue. And
11 so there were some real challenges to get the two together,
12 but I'd have to say, there is a definition that says what it
13 is physically, and there's a definition of what it's capable
14 of doing. But I have seen, I can share with you from
15 another presentation a verbal just definition of what Smart
16 Grid is, I don't have it in this presentation, but I haven't
17 seen two people in two presentations use the same definition
18 yet, personally.

19 COMMISSIONER WEISENMILLER: Thanks, Mike.

20 MR. GRAVELY: I don't know if there's anybody in the
21 audience here who has a definition that they've used in
22 recognition, but it's probably something we might work on as
23 what the infrastructure issue of this year's IEPR, but it's
24 very important to do that. So, with that, I'll turn it over
25 to Angela Chuang, who is our Project Manager for this, and

1 her three partners are from the three IOUs today, and so
2 she'll be giving an overview, and all three IOUs will be
3 speaking, and I encourage everybody online, as well as here,
4 to ask tough questions. Thank you.

5 MS. CHUANG: Thank you. Good morning,
6 Commissioners, ladies and gentlemen. It's my pleasure as
7 Project Manager for EPRI on this project to kick off our
8 EPRI IOU team presentation on the California Utility Vision
9 of Smart Grid for the State of California by Year 2020, and
10 the road map to achieve the vision.

11 So our presentation will be presenting the findings
12 from our project that has been ongoing since late January
13 this year, including a little bit about our project
14 assumptions, the background, and the policy drivers for
15 Smart Grid that we investigated up front, then the meat of
16 the findings, which is the 2010 baseline for Smart Grid, the
17 2020 vision, and examples of technology writing those road
18 maps to achieve the vision that we will share. Also,
19 towards the end of our group presentation, we'll discuss
20 policy concerns and overall conclusions and recommendations.

21 The overall goal of our project was to work in
22 partnership with the California investor-owned utilities to
23 define what is a Smart Grid for California by the year 2020,
24 define the vision and a road map to achieve the vision, with
25 2010 as our baseline. The fundamental assumption is that,

1 given the energy policy drivers for Smart Grid are what are
2 really driving Smart Grid in the state, that the Smart Grid
3 vision and roadmaps that we define need to support the
4 energy policies that exist in California. And so, that was
5 the fundamental assumption and a requirement in our project,
6 that the Smart Grid supports the energy policies of the
7 state.

8 In order to proceed, then, we had a detailed
9 investigation of what the policies are, and we classified -
10 Mike Gravely had a similar slide to this - this has been
11 updated since the initial classification of policies in our
12 2008 California Smart Grid Report. And it shows a number of
13 energy policy targets in different categories from
14 greenhouse gas emission reductions to renewable energy
15 targets, and energy efficiency demand response type targets.
16 Most of these on the slide are targets, some, just a few of
17 them on this slide, are incentives. After looking at the
18 policies in the various varieties here, our team asked,
19 well, what about reliability? So we also added that to the
20 slide. And, on the bottom of the slide, we can see a number
21 of reliability reporting type activities, emergency
22 standards for operations, and safety, and so on, and
23 inspection and maintenance type standards. Also, the
24 California Resource Adequacy Requirement that has been
25 instilled a few years ago, that is also for reliability

1 purposes.

2 Our project went through a number of stages. In the
3 beginning, we brought the leadership team together to define
4 what are the assumptions for the project, what are the
5 guiding principles, and what types of frameworks should we
6 develop that we can give to the rest of our project team to
7 fill in the details. So, we started off defining guiding
8 principles and frameworks for our project, then we came
9 together as a team to vet and review and provide further
10 details for the baseline, the vision, and the technology
11 readiness road map exercises that all three IOUs, EPRI, and
12 some subcontractors concentrated on, in a series of
13 workshops that spanned from April through July of this year,
14 and we have drafted the final report and presentation that
15 resulted from the workshop series. And we're currently
16 under the review process prior to publication of the final
17 report.

18 So, in the beginning, the first stage of the
19 project, one of the activities we conducted was to identify
20 the basic assumptions for the project. As mentioned
21 earlier, the energy policy targets are met by year 2020, the
22 existing ones. We studied them and it was just the basic
23 assumption, that they are met. How do we define a vision
24 road map to support those policies and targets? And another
25 assumption is, as increasing renewable penetration markets

1 continue, there are certain amounts, certain types of
2 uncertainties, that need to be managed and handled
3 logically, and we assume they are. And that includes the
4 ownership of the resources on the customer side, the
5 uncertainties in the face of aging infrastructure and
6 equipment failures which will more likely occur before that
7 aging infrastructure is replaced, those sources of
8 uncertainties are handled logically. And in this
9 environmental of Smart Grid, with the customers now owning
10 resources that could be relied on by the Grid, we assumed
11 that rates make sense to encourage fair behavior, including
12 customer participation by lending their resources to support
13 the Grid, so there are rates in place that make sense to
14 encourage the cooperation on end use.

15 Smart Grid accommodates market enablement and
16 customer driven choices; this is as opposed to a traditional
17 paradigm of utility driven type demand response and demand
18 side activities. So, in the 2020 paradigm, the customer has
19 choices and the markets enable those choices, and the
20 choices are customer driven to meet their needs. Finally,
21 that Smart Grid will accommodate the integration of
22 alternative resources, whether it be plug-in electric
23 vehicles, renewables on a distribution or transmission
24 system, distributed storage, bulk storage, these alternative
25 type of resources will be accommodated. Those are our basic

1 assumptions. So, we organized our project team into six
2 areas of technical expertise which we called "domains,"
3 domains of technical expertise, which are listed here in the
4 first heading, the top row of this diagram, spanning from
5 communications infrastructure and architecture domain team,
6 to customer systems, Grid ops control, renewable and DR
7 integration, capital asset efficiency, and workforce
8 effectiveness. Within each of these domains, we define
9 Smart Grid uses, broad areas of what would the Smart Grid be
10 used for, and these are the areas that our team decided that
11 we will focus on. There are a total of 19 of them. We
12 developed technology readiness road maps for each of these,
13 each of the 19, so we have 19 and we'll provide some
14 examples of these road maps later.

15 One question that is important to address besides
16 what are the uses of a Smart Grid are, well, what's the
17 objective for that particular use? What's the reason? Why
18 are you using the Smart Grid for that? So, we categorized
19 here, this list comes from a previous EPRI report, Possible
20 Categories Objectives in the first column, from
21 environmental compliance like a use to meet renewable
22 portfolio standards, it's for environmental compliance or to
23 reduce greenhouse gas emissions, it's for compliance, all
24 the way to enhancing customer choice, improving system
25 economics, maintaining enhanced system reliability, and

1 improving power quality. So, keeping the Smart Grid uses in
2 the different 19 categories I showed earlier on the previous
3 slide, plus these possible reasons for using the Smart Grid,
4 we asked our team, tell us what are the top priority Smart
5 Grid uses and associated objectives for that use. What are
6 the top ones? And these here were almost unanimously
7 identified by our IOU team members. For example, bulk wind
8 and solar integration to meet RPS and reduce greenhouse gas
9 emissions, unanimous top priority here, all the way to why
10 there is situational and data integration for system
11 protection restoration. The color coding here shows the
12 different types of objectives, the green being the
13 environmental compliance, the blue here, customer needs,
14 that's about enhancing customer choice, and reduced peak
15 demand, reduced losses, is about enhancing system economics.
16 So, these are the top priority ones and this list shows the
17 high priority Smart Grid uses and associated objectives.
18 For example, high priority, the top priority, was basically
19 the IOU's, most of them saying, "This is the top priority,"
20 whereas high priority is one level lower in ranking, it is
21 "a high priority." So, this is a result for the second
22 level of priority, for example, demand response for
23 enhancing service innovation under capital expansion. So
24 the use is demand response in the black, and the color
25 coding is the type of objective. So, it ranges. And it's

1 interesting to note, on the previous slide, that we have PV,
2 plug-in electric vehicle integration, the objective of that
3 is reducing greenhouse gas emissions, for example, and
4 meeting customer need. The meet customer need is
5 representing the pool of the customers, they are going to go
6 out and they're going to buy the electric vehicle, and the
7 Grid needs to support that pool from the customer side of
8 the market.

9 So, after we did that exercise, then we also wanted
10 to make sure we covered all the bases of all the different
11 dimensions of consideration for Smart Grid Vision and Road
12 Mapping exercises, so we looked at - we had our technical
13 team of great experts looking at what's operationally
14 possible, what's physically possible with technology, and we
15 had done the exercise of looking at the policy drivers on
16 the top plane, and the cost benefits, as well, among the
17 leads in our group, of Smart Grid in general terms. And
18 this slide shows that there are many dimensions of
19 consideration that need to be taken into account in a road
20 mapping effort and vision exercise because the regulatory
21 and the commercial dimensions on the top plane, they are the
22 drivers for Smart Grid, and they determine what's probable
23 with Smart Grid, whereas the bottom plane, the technical,
24 the operational, the physical, that determines the means, or
25 what's possible with Smart Grid. And together, you kind of

1 close the domain space of what's possible and what's
2 probable, and so we considered all these dimensions. And
3 these types of factors, policy regulations, technology
4 operations, they're evolving over time, so in our road
5 mapping exercises, we pretty much say what technology stages
6 will occur, in what order, it's not a prediction of when
7 exactly that will happen because there are all these
8 evolving considerations over time that impact the actual
9 outcome.

10 So, in the baseline presentation, we offer - the
11 Baseline 2010 Presentation of our findings offers a
12 framework to describe Smart Grid technologies. This comes
13 from the 2008 EPRI Smart Grid study for the California
14 Energy Commission, where we show the power system resources
15 on the very bottom level, which starts from generation all
16 the way down to transmission substation and distribution and
17 end use, so this is the power level of technologies, the
18 resources themselves, and the assets. And everything else
19 above has to do with the logic, the remote sensing, and
20 controls, the algorithms for controls embedded in the
21 devices, for example, of the Grid. And the communications
22 infrastructure that serves as a medium to take the
23 information from the control sensors and exchange it with
24 the data integration layer that provides one source of truth
25 for data to the applications that require it. So everything

1 above the bottom level of this technology framework,
2 everything has to do with the sensing and the controls and
3 the logic to manage the resources. So, this can be thought
4 of as the logic level of technologies, and the bottom is
5 actual physical power assets. So, given that, and one other
6 thing is that these columns represent the different parts of
7 the electric power industry from generation to transmission
8 distribution, and end-use. So, looking at this technology
9 framework, we can more simply describe what is a smart grid,
10 and from our 2008 findings, it was described as the
11 intelligent use of information across traditional
12 boundaries. So this one example shows the distribution
13 operator, for example, interested in using advanced metering
14 data to inform certain applications like outage management,
15 for example, and that crosses traditional boundaries, and
16 there is a lot of initial activities using advanced metering
17 to inform distribution operations. And then, this second
18 example we have is the Transmission Grid Operator expressing
19 interest during our interviews back in 2008 of using
20 advanced metering capabilities to enable demand response to
21 balance intermittent generation on the transmission grid.

22 And finally, an activity with another group, also
23 CEC funded, where the procurement team and the customer
24 service side of the utilities working on a project with EPRI
25 this past several years to value, to come up with a

1 methodology, to value how much voided cost can be captured
2 on wholesale settlements from 1 megawatt demand response, by
3 location, by resource. So, that project also spanned
4 traditional boundaries. So, this is our simple one-sentence
5 description of what a Smart Grid was, it is the intelligent
6 use of information across traditional boundaries where every
7 vertical line here, and every level of technology represents
8 a traditional boundary. If there are no clarifying
9 questions, we have our next presenter, Kevin Dasso from
10 PG&E, who will describe the 2020 Vision Findings from -

11 COMMISSIONER WEISENMILLER: Okay, actually I have a
12 few clarifying questions. First of all, when you talked
13 about back on - I think it was slide 4 - that basically this
14 system is dealing with the reliability standards, I just
15 wanted to clarify that, by that, you included the NERC
16 reliability standards?

17 MS. CHUANG: Categorically, that would be included,
18 definitely.

19 COMMISSIONER WEISENMILLER: Okay. The next question
20 is, on your slide under Assumptions for Projects where you
21 talked about rates make sense, that's, I think, slide 7,
22 again, specifically are you referring to dynamic pricing?
23 Or what?

24 MS. CHUANG: Just the - not specifically, but
25 dynamic pricing is included in the area of restructuring of

1 rates.

2 COMMISSIONER WEISENMILLER: Okay, so what are the
3 other elements, then?

4 MS. CHUANG: Other possibilities of structures could
5 be - there's things I've seen that we don't have in the U.S.
6 that are broad, like demand subscription, for example, or
7 alternative pricing structures, other than charging
8 customers on the basis of energy, just energy. It could be
9 also, for example, based on power, which you can find in CNI
10 customer rates, all kinds of examples, those are just a few
11 examples. But the whole space of rate restructuring is what
12 we're referring to here, alternatives.

13 COMMISSIONER WEISENMILLER: Okay, now, on Slides 10
14 and 11, I was just trying to find - this is the top
15 priorities, so I was trying to check on whether the
16 integration of distributed gen is listed as a top priority.

17 MS. CHUANG: Yes, all kinds of distributed
18 generation. In this area, the broad term of distributed
19 generation, it could include PV, for example. So we have PV
20 in the list here.

21 COMMISSIONER WEISENMILLER: Okay, but basically you
22 want to make sure that distributed gen, distribution level,
23 localized generation, is part of this vision.

24 MS. CHUANG Oh, definitely. It includes like
25 electric rail and electric - integration of PV, example

1 here, to reduce greenhouse gas emissions, there is PV, we
2 looked at CHP, as well, different types of generation in our
3 ranking exercises.

4 COMMISSIONER WEISENMILLER: Okay, and last question
5 is, as you go through the Smart Grid definition and vision,
6 was there agreement among the California Utilities and you
7 on what the hardware and software pieces of that are, or
8 would be, in terms of how to translate the vision and goals
9 into specifics?

10 MS. CHUANG: We would like to present some examples
11 of that in our Technology Road Map exercise examples later
12 on, but, yes.

13 COMMISSIONER WEISENMILLER: Okay, that's fine.
14 Thanks.

15 MS. CHUANG: Kevin Dasso from PG&E is up next.

16 MR. DASSO: Good morning, everybody. My name is
17 Kevin Dasso. I'm PG&E's Senior Director of Smart Grid and
18 Technology Integration. I'm happy to be with all of you
19 this morning. So, I'm going to talk a little bit about the
20 vision, kind of building off of what Angela laid out in
21 terms of some of the introductions. This is a tag team
22 presentation, so I'll be handing it back to Angela and we'll
23 hear from the other team members as we go forward.

24 So, in terms of 2020 vision, one of the first things
25 that we did was really to take a look at what have others

1 said about Smart Grid. So, I think it was alluded to by Mr.
2 Gravelly that, you know, many people have definitions of
3 Smart Grid, they've taken positions on it, so we thought it
4 would be useful to just do an inventory and at least say -
5 get an understanding of what are the characteristics that
6 various organizations have put out there, that we ought to
7 be thinking about and that California ought to be thinking
8 about as it looks at its development of its 2020 vision.
9 And one of the aspects of any time you talk about Smart Grid
10 and the vision around that is, it is useful to think about
11 characteristics which are different from what the actual
12 Smart Grid is versus what it can enable, and so I think some
13 of the language which needs to be - you have to think about
14 that a little bit. And we've tried to parse that out as
15 we've gone through this.

16 So what we've put up on this slide is just three
17 examples of kind of listings of Smart Grid characteristics
18 that have been put out there, the first is EPRI's view and
19 EPRI's membership in terms of how they see the Smart Grid,
20 what those characteristics are, the second is really coming
21 from the DOE and their modern Grid strategy development
22 work, and then the third is essentially some of the
23 characteristics that have been described by the California
24 Public Utilities Commission in the ongoing Smart Grid OIR,
25 which built very much on the characteristics that were

1 described in Senate Bill 17 that is kind of driving, you
2 know, at least State policy as it relates to Smart Grid
3 characteristics. So, there are a couple key themes here
4 that I wanted to point out. The first is around
5 reliability, so we've got, you know, self-healing,
6 resilient, higher quality power, reduced impacts on outages,
7 so reliability is a theme. The second is customer
8 enablement and customer participation, so those are
9 expectations in terms of characteristics. The next one is
10 around markets, so enabling markets and making markets more
11 robust, that's a component, a characteristic. Integrating
12 renewable resources at all levels, so bulk system as well as
13 distribution system. And then, last but not least, it needs
14 to be secure, so secure from a Grid perspective, but also
15 secure from a customer information perspective, those are,
16 again, some of the characteristics that we considered as we
17 developed our vision.

18 This is the actual vision statement, and I'm going
19 to read it first, but I'm going to break it down a little
20 bit; the vision statements can be a little dense and I think
21 it's worth kind of identifying the key components to this.
22 So, I'll just read it off first. The Smart Grid will link
23 electricity with communications and computer control to
24 create a highly automated, responsive, and resilient power
25 delivery system that will both optimize service and empower

1 customers to make informed energy decisions. So, a lot
2 there, and I'll kind of break it down a little bit, but
3 first I wanted the focus on is what is the Smart Grid, so I
4 think Commissioner Weisenmiller, your question, you know, do
5 we have a concise definition of the Smart Grid? Well, what
6 is it? It really is the linking of electricity with
7 communications and computer control, so that is the what, or
8 that is the what is the Smart Grid. The second part of this
9 vision statement also goes to how does the Smart Grid
10 accomplish what we're setting it out to do. And the how is
11 that we're highly automated, responsive, and resilient, as
12 we think about the Smart Grid. And then, the last part is
13 around benefits, so why do you do this? You know, what are
14 the benefits and there are many but we characterized them
15 really in two basic statements, that is, to optimize service
16 and also to empower consumers, that those are the main
17 elements.

18 And I want to just talk a little bit about
19 optimizing service for a second. There are many demands
20 that are being placed on the Grid going forward, so we've
21 touched on some of those already. New requirements, so more
22 intermittent resources, distributed resources,
23 electrification of transportation, those are all things that
24 can be enabled in multiple ways. We believe that the Smart
25 Grid is about how to optimize that, enabling those new

1 services while still considering costs and reliability,
2 overall. So, there is this, I think, important concept here
3 of optimization and, you know, the balancing of those
4 elements.

5 And then, again, the last point here, but clearly
6 not the least, is that consumers are really at the heart of
7 all of this, so how can we help consumers make good choices,
8 have control over their energy usage going forward? So
9 that's the vision statement that we've used and developed
10 and would offer for consideration here.

11 The last point I'm going to make, or the last slide
12 I'm going to cover is, again, kind of going to the
13 capabilities that we highlighted as investor-owned utilities
14 to focus on. Again, the Smart Grid, and there are many
15 capabilities that can be enabled by the Smart Grid, and I
16 often hear people talk about all the things that it can do.
17 I think that if we really wanted to take a shot at trying to
18 prioritize those, you know, you really don't want to try to
19 do everything. If you try to do everything, you're probably
20 not going to do very much. So we really wanted to focus
21 this around what are those key capabilities that we're
22 after. And so the first is around empowering consumers in
23 the open market. So, again, that's a key theme, lots of
24 things you could do, these are things that we think are
25 important. The second is, you know, very much front and

1 center for California, and that is, you know, renewable
2 resources. And, again, distributed, as well as bulk system.
3 The third bullet is, you know, kind of one of my favorite
4 themes here and that is don't forget about the Grid, you
5 know, that there are elements of this that, as we think
6 about capabilities, that we can't forget about, in our drive
7 to integrate renewables and enable customers, there are some
8 grid elements that we have to think about, and that is
9 around reliability, around economic efficiency, and around
10 security, and in the face of very complex and changing
11 environment.

12 And then, last, again, from the utilities'
13 perspective, we also need to focus on how can we increase
14 safety and productivity of our utility workforce to the
15 benefit of our customers and providing a safe environment
16 for our customers. So, those are kind of the key
17 capabilities that we wanted to highlight. So, those are my
18 prepared remarks and if you wanted to ask a few questions,
19 we can do that, and then I'll hand it back to Angela to
20 cover the next section.

21 COMMISSIONER WEISENMILLER: That would be great,
22 thanks Kevin. I had a couple of questions. If you go back
23 to the Vision Summary for a second. I guess my question to
24 Mike and to Heather is whether both of you agree with that
25 definition.

1 MR. DASSO: I'll yield to Mike.

2 MR. GRAVELY: I would say it has all the elements
3 that we've talked about. I have to be honest with you, we
4 haven't really taken - you'll hear different perspectives
5 today a little bit from this, but it has all the elements
6 we've discussed. Well, this is the utility perspective, I
7 would say it has a utility perspective.

8 COMMISSIONER WEISENMILLER: Okay.

9 MR. GRAVELY: I would say if you had a vendor
10 provide this, and maybe - I don't think we're going to talk
11 about it - but it certainly provides all the information,
12 but I would have to say that it is, in my eyes, through the
13 eyes of the utility vs. the eyes of the customer vs. the
14 eyes of someone else. So, we haven't actually vetted it
15 out, but it certainly has all of the elements that we
16 consider critical for Smart Grid.

17 COMMISSIONER WEISENMILLER: Okay, Heather?

18 MS. SANDERS: I would agree with Mike. The one
19 thing I would add to this is the visibility aspect, you
20 know, the automated response of resilient power delivery
21 system, as well as the optimization is very important, but I
22 would just add the visibility aspect to this.

23 COMMISSIONER WEISENMILLER: That's good, thank you.
24 Okay, Kevin -

25 MR. DASSO: Can I respond, maybe I'll address

1 Heather's point.

2 COMMISSIONER WEISENMILLER: Sure.

3 MR. DASSO: So, in resilient, I think we have that
4 notion, I mean, in order to know what to do and be capable
5 of responding, you have to have visibility, so that's an
6 element of it.

7 COMMISSIONER WEISENMILLER: Kevin, in terms of the
8 PG&E circuits, are there any distribution circuits that, at
9 this stage, have very high levels of DG?

10 MR. DASSO: We do have a number of distribution
11 circuits that have a large number -- of distributed
12 generation or PV, in particular?

13 COMMISSIONER WEISENMILLER: Yeah, PV in particular.

14 MR. DASSO: We do. We have not - we don't have any
15 circuits where the penetration has created huge concerns
16 yet, however, we have approximately 42,000 customer-owned
17 solar panels located in our distribution system, kind of
18 throughout our service territory. Those panels tend to be
19 concentrated in certain areas, particular neighborhoods,
20 subdivisions, and so on. We're beginning to see some of the
21 impacts of those high concentrations, but at a very
22 localized level. We're not seeing them causing any problems
23 at a circuit level, the issues are a little bit more
24 localized. However, these are concentrated in certain
25 areas, some circuits have a lot more of those units than

1 others do and we know which those are.

2 COMMISSIONER WEISENMILLER: Yeah, no, my impression
3 was that PG&E has really led the nation in solar PV
4 installations on the DG, so in terms of looking for data,
5 I'm assuming if anyone has circuits that are very high
6 penetration rates, it would be PG&E.

7 MR. DASSO: We do have a rich database. I think one
8 of the challenges we have, though, is that today, in the way
9 those PV units were installed, or today and historically, is
10 many of those are a net metering kind of arrangement, so we
11 do not generally have visibility into what those PV units
12 are doing, and so that's an area we'd like to leverage and
13 expect to leverage some of our Smart Meter capabilities to
14 get a better understanding of going forward. We know where
15 they are, we know what they're supposed to be doing, we can
16 see the implications of them on our grid from our side,
17 however, we can't tell you at any given time what is the
18 output of that unit, and is it performing at the level it
19 was expected. Those, I think, are future enhancements that
20 we would expect to be able to add to that database.

21 COMMISSIONER WEISENMILLER: Did you have a sense of
22 what the highest penetration rates you have on these
23 circuits?

24 MR. DASSO: By number or -

25 COMMISSIONER WEISENMILLER: Percentage.

1 MR. DASSO: Percentage, generally less than 10
2 percent of the capability, we have not reached that. At a
3 circuit level, we do have certain segments of those circuits
4 where the penetration, or where the actual PV output is
5 greater than 10 percent of the peak demand.

6 COMMISSIONER WEISENMILLER : Yeah, I guess the last
7 question for you is, having been sort of Ground Zero on the
8 Smart Meter installation, coming from those lessons learned,
9 what are your takeaways for the Smart Grid?

10 MR. DASSO: I think one of the key elements is how
11 to engage customers, I think that's - we have been on the
12 cutting edge of all of that, and to some extent the bleeding
13 edge in some of that area. I think we've learned a lot of
14 lessons, we are applying those lessons going forward, I
15 think, with a very different type of response. We have a
16 very expansive outreach program now before we go into
17 communities where we have been reaching out almost two
18 months before we install any of the meters with elected
19 officials, with various consumer groups, we're coming in
20 with answer centers, with displays, and ways in which we can
21 inform customers about how they can use these devices, and I
22 think with a much different outcome. A couple things I
23 would like to mention, you know, kind of highlight there
24 that often get lost in all of the energy around PG&E Smart
25 Meter Program, we have over six million Smart Meters that

1 are fully enabled, meaning that they're being used for
2 billing, they can support communication with customers about
3 what's happening on their usage. We have over 250,000
4 customers that are accessing, or have accessed, their hourly
5 data through Smart Meters via our PG&E website, so people
6 are beginning to use those tools. One of the other features
7 that we think is kind of neat and interesting is that, with
8 the Smart Meters, the interval billing capability, that
9 we're able to use hourly data and inform customers when they
10 are about to reach - as they move into a higher cost tier,
11 we call it "tier alerts," we have over 20,000 customers that
12 have signed up for tier alerts over this last year and we're
13 getting positive feedback on that. So, again, there are
14 benefits and things that are being enabled here.

15 COMMISSIONER WEISENMILLER: I guess the other issue,
16 obviously you've been hit with the concern on health issues,
17 and, again, looking back at that issue, is there anything
18 else we should worry about in the Smart Grid context?

19 MR. DASSO: Well, again, I think there's lessons to
20 be learned. You know, the wireless communications is one of
21 the components and elements that we have to think about. If
22 we're going to be talking with, whether they are Smart
23 Meters, or whether they're sensors or other devices, you
24 know, out distributed in the distribution system, depending
25 how deeply they go, the most economic, cost-effective, and

1 safe, we believe, and many also believe, way to do that is
2 through wireless capabilities. And I think we do have to
3 make sure we're addressing consumers' concerns and answering
4 those to the best of our ability.

5 COMMISSIONER WEISENMILLER: Okay.

6 MR. DASSO: Thanks. I think this goes back to
7 Angela.

8 MS. CHUANG: So we have a few technology readiness
9 road map examples to share. The ones chosen, for example,
10 because we have 19 of these in the final report, but we
11 decided to share the ones more on the customer side because
12 it reflects more of the newer capabilities of the Smart
13 Grid. For example, plug-in electric vehicle integration
14 technology readiness road map. Each stage here in the row
15 is reflective of a certain level of capability and we start
16 in the short term, which means the next five years, so
17 through 2014, we move to the medium term, which is the next
18 five years after that, and then the long term means 2020 on
19 out. So, the first stage in this area of PEV integration is
20 going to be all about Smart charging, about handling the
21 vehicle as a load. So, the capabilities there include off-
22 peak charging, demand response, down regulation as opposed
23 to up because it's about turning it off when it's on, it's
24 about managing the load from the electric vehicle when it's
25 charging. And then, the stage after that in the medium term

1 with the vehicles to home, using the battery of the electric
2 vehicle to support electricity uses in the home, just
3 locally, and then, in the long term, getting vehicle to
4 grid, which is using the battery, then also to be able to
5 also support the Grid, which involves another level of
6 complexity when we allow export of power to the Grid to
7 support it. And, finally, renewables integration, which is
8 about using the battery of the vehicle to support the Grid,
9 to balance fluctuations in intermittent renewable
10 generation, which is an additional level of complexity
11 because of the intermittent nature that needs to be handled.
12 So, those are the stages and the basic capabilities. The
13 enablers to reach each of the stages are listed on the
14 right-most column. So, for Smart charging, we need bi-
15 directional communications, for example, between the grid
16 and the vehicle, standards to be able to support the Smart
17 charging, and we need implementations to test standards and
18 so on. The vehicle to home requires bi-directional power
19 transfer on-board the vehicle, and a proven value
20 proposition to do vehicle to home. And you can see that
21 repeated, the proven value proposition to do vehicle to
22 grid, for example, is a key enabler in the long term, as
23 well as to support intermittent renewable generation.

24 Just some examples, the next one we'd like to share
25 is demand response readiness, integrating demand response,

1 what are the stages for that in the next 10 years. So,
2 today, we have reliability-based demand response programs,
3 that's part of the baseline. And in that, we just listed
4 here to contrast with the subsequent stages, so DR, Demand
5 Response triggered emergencies, system emergencies, and
6 other critical conditions where the trigger uses is some
7 kind of system-level emergency condition to trigger the
8 demand response. And we need - we do equipment retrofits,
9 we have to enable communications and remote control
10 capabilities today, we do that. And we have customer
11 adoption and program participation to increase program
12 participation as a key enabler. The energy market
13 integration is in the short term, where we have activities
14 today to get to integrating demand response with wholesale
15 electricity - energy markets of wholesale electricity
16 markets. So, to do this, we need DR to be triggered based
17 on wholesale energy prices, so we're working towards that in
18 the day ahead, or day of, so energy-based trigger. And to
19 do that, the key enabler would be tariff approval for some
20 kind of dynamic energy pricing, energy-based pricing for
21 retail customers. And this requires two ways, smart end-use
22 devices - I'm sorry, one way communications for energy-based
23 triggering, one-way communications, not two-way yet. The
24 next stage in the medium term includes distribution
25 management system integration, where basically now we have

1 localized event conditions being detected and triggers based
2 on local conditions, let's say distribution system
3 conditions, so using demand response to support the
4 distribution system, let's say preventing a distribution
5 transformer from overloading, for example. So, DR in this
6 stage can be used to extend facility and asset life, and PEV
7 charging is one example here, to avoid the transformer
8 overloads. We need Smart end-use devices with two-way
9 communications to get to this stage, as a key enabler. I
10 mentioned localized event triggers; also, tariff approval
11 for perhaps demand-based retail rates, and the PEV charging
12 is an example for that, where the value of demand is very -
13 it's something that will need to be addressed. The
14 ancillary service market integration is also in the medium
15 term, so we're talking 2015 to 2020, reaching this stage.
16 DR is providing operating reserves to support Grid
17 operations in this medium term stage, and to get to this
18 stage, we need Smart end-use devices with integrated
19 communications and controls, some kind of cost justification
20 for the telemetry requirements, the monitoring requirements
21 that are required by the Independent System Operator to
22 provide operating reserves. The cost needs to be justified
23 because the requirements are more stringent, or the
24 requirements need to be relaxed, or some combination, and
25 some cost allocation method if the market participant

1 decides to sell supply reserves using DR, for example. And
2 then, finally renewable integration, the most complex level
3 in this roadmap, we're not just using PEV, but any type of
4 DR to help balance the intermittency of bulk renewable
5 generation, for example, or even distributed renewable
6 generation. So, to get to this stage, deep situational
7 awareness, Smart end-use devices with the capability of
8 rapid automated response, that's in the long term - 2020 on
9 out. And we have one example on the Grid side, and many of
10 our technology readiness roadmaps, whether it be at the
11 distribution or transmission level of preparing the grid
12 side, it has a basic trend of, we need the ability to
13 monitor remotely those resources on the distribution system,
14 for example, whether it be electric vehicles, or other types
15 of demand side resources, and have that capability
16 integrated with existing SCADA systems, for example, so that
17 the operators can make decisions, have the visibility, make
18 the decisions, and further down the line have the advance
19 protection control capabilities in place to operate the Grid
20 with these distributed resources, including customer-side
21 resources and intermittent resources, so the proper
22 protections and controls in place, then the ability to
23 operate with some level of automation and advance
24 applications, the general trend.

25 We would like to cover policy issues and

1 recommendations and conclusions and leave enough time for
2 that, so our next speaker is Mike Montoya from SCE.

3 MR. MONTOYA: Good morning, everybody. My name is
4 Mike Montoya. I'm a Director of Grid Advancement for
5 Southern California Edison. And I want to talk a little bit
6 about what the team thought about as we went through this
7 whole process on the policy issues as we go forward between
8 now and 2020.

9 So, we broke it down into three different areas, the
10 regulatory role, who should be doing what, the deployment
11 pace, when you think about between now and 2020, in a couple
12 of weeks we're going to have less than 10 years to go
13 through all of this and really shore ourselves up such that
14 we can meet all of those goals and make sure the
15 technologies that we use are capable of meeting those policy
16 goals. And then, the customer readiness, you know, it's
17 been alluded to that customers are going to be very very
18 important in this piece, there are a lot of goals around the
19 Smart Meter arena that are around demand response and other
20 issues that the customers are going to have to be very well
21 informed and be a part of this in order for it to be
22 successful.

23 So, around the regulatory role, we think the
24 jurisdictional clarity is going to be very very important
25 because of the fact that the Smart Grid is going to

1 encompass so much from the transmission level, bulk power,
2 wider controls, and distribution substation automation,
3 field area networks for our field workers, and asset
4 utilization, and all the way to the home area network where
5 our customers are going to be involved. And when you think
6 about just the utility piece of that, there is so much
7 integration, and we think that end-to-end security is
8 paramount for that integration. And then, on top of that,
9 you hear folks, including the Chairman at FERC say that one
10 day I will be able to bid my washing machine into the ISO
11 market. And so, when you expand that into the millions of
12 devices, if that were to come to fruition, the integration
13 of this really needs to be at a national level such that the
14 standards are for all of us and all of the different
15 manufacturers are all building to the same standard so that
16 we have an interoperable system and the capabilities for,
17 you know, like the computer world, where there is plug and
18 play.

19 And another issue around the regulatory role is all
20 the IOUs are in different places in Smart Grid, and that is
21 all driven by different business reasons, but as policies
22 are developed and as they move forward, that should be a
23 consideration such that it doesn't put one company in a bad
24 situation and another company in a better situation, so that
25 should be taken into consideration. And then our customers,

1 as we develop policies, they're all different, they all have
2 different needs, and so we need to at least have that Litmus
3 test to make sure that we're not doing something that was
4 really unreasonable from a cost perspective or technology
5 perspective for a certain customer that doesn't need those
6 different technologies. And then, the notion of least cost,
7 best fit, when you think about all these policies that we're
8 going to have to meet by 2020, we can do it brute force, you
9 can invest in different types of investment to try and do it
10 brute force, or you can look at it from a technological
11 perspective and see if the technologies will help us
12 accomplish those 2020 policies. And when you go into that
13 arena, you're going to be dealing with a lot of new
14 technologies, a lot of things that you'll look at in the
15 lab, you'll look at when you first start deploying, but as
16 you scale that whole Smart Grid across your system and you
17 get more variable energy out there, you know, you may find
18 that it doesn't scale, or other issues as you go through the
19 technology, and so these thing will be the least cost - and
20 because there's going to be some uncertainty as we go
21 forward.

22 On the deployment pace, as I say, one of the areas
23 that we think should be avoided is for regulators and others
24 not to mandate or pick winners. In other words, we
25 shouldn't be regulating one technology, or that one

1 technology vendor would have an advantage in that arena.
2 This should really be across the board, let the market and
3 the vendors, and the experts and the systems, look at what
4 the best fit and what technology is best for us to be able
5 to accomplish the goals.

6 And then, I kind of alluded to it before, but there
7 is a need for treatment of emerging technologies from a
8 contingency perspective when technology may not scale, or
9 technology may not perform like you thought it would in the
10 laboratory, or if you get out there and the generation or
11 the different technologies that are going to be
12 interconnected with the Grid don't play the way you think
13 they would. And then, I think Kevin mentioned this, is that
14 we need to remember as we go through this thing, that we
15 still need to have a reliable system and that we really want
16 to make sure that our customers are served properly with a
17 reliable service, while trying to achieve these goals.

18 And then, on the customer perspective, we need to
19 really make sure that there are incentives out there and
20 outreach programs that will really get them engaged to help
21 us meet these goals, they are going to be a big part of it,
22 and so we really have to ensure that they come along with
23 us. On the third-party access to this, I think everybody in
24 the room knows that there's a lot of other folks looking
25 into getting into this business, you know, you have the

1 Googles and the Microsofts of the world looking at how they
2 could maybe help our customers, you know, reduce their costs
3 through better information and technologies, so one of the
4 things we think is very important is that the customer
5 privacy issues should be very important as we develop these
6 policies, and make sure that the customer not only
7 understands what's going on, but agrees that their
8 information goes out.

9 And the last point is that the customer needs to
10 anticipate that the future electric costs are probably going
11 to go up because of the policy goals, but that if we do this
12 right, with the right technologies, and we're very
13 thoughtful about it, they will not go up as much as the
14 brute force way of doing things. And so, in summary, that's
15 just kind of the areas we think as we go through this whole
16 journey from now to 2020, these are the areas we think
17 should be kept upfront and in mind as we develop future
18 policies. Thank you.

19 COMMISSIONER WEISENMILLER: Yeah, Mike, a couple
20 policy questions. One of them is, obviously, as we rolled
21 out the Smart Meters, they've been more or less utility by
22 utility, and I guess part of the question is, are we at a
23 stage, you know, if you look vs. having meters rolled out on
24 a utility basis versus, say, nationwide, presumably the cost
25 would be driven down, the more we can get the common

1 technology. But then, part of the issue is, for this area
2 of innovation, you're not quite sure what the [quote
3 unquote] "winners" are. So, the question in part is, how do
4 we do the right balance between continuing to encourage
5 innovation at sort of the local level, while at the same
6 time trying to achieve some economies and cross
7 communication at the state and the national level.

8 MR. MONTROYA: Well, I think when you look at
9 technology, in general, manufacturers are going to build two
10 standards, and so if you have a national standard, you're
11 going to have a lot more manufacturers building to that than
12 if you have individual state standards, and the costs would
13 be much higher if you had individual standards because, you
14 know, they're building X for California and Y for Wyoming,
15 and all that. So, I think it's important to keep that in
16 mind, you know, the manufacturers are going to build towards
17 standards and if we can have a standard that is
18 interoperable and goes along the way of plug and play, I
19 think that will help us with economies of scale and bring
20 the costs down.

21 COMMISSIONER WEISENMILLER: Good. Do you have a
22 sense of what a reasonable estimate of the timing to get
23 there will be on the national standards?

24 MR. MONTROYA: Well, it depends which one you're
25 talking about. We're working, all the utilities and all the

1 stakeholders are working on the standard for the
2 communications, for instance, on the Smart Meters, on the
3 Home Area Networks, and so, you know, it's been worked on
4 for a year or so and it's probably going to be worked on
5 through the summer of 2011. We're anticipating that that's
6 when it will be finalized. But there are a lot of other
7 different areas out there that are being reviewed by NIST
8 and, so, each one of those individually will take its time
9 to get there.

10 COMMISSIONER WEISENMILLER: Yeah, I was going to ask
11 the harder question, if you think about what are the central
12 functions for Smart Grid, then the question is, when will we
13 have those standards in place for at least the central
14 pieces of the puzzle?

15 MR. MONTOYA: Well, it depends on the technology
16 again, but if you look at communications standards, a lot of
17 those are already in place. If you look at communications
18 within the substations as an example of that, IEC 61850 is a
19 standard today, and utilizing that, which is our intent when
20 we move forward on our automation, so if you look at it from
21 that perspective and you pick the standards that are in
22 place today, and that they're interoperable, the whole thing
23 is interoperability here because you're going to have the
24 Home Area Network that's going to influence, you know, the
25 controls at the highest levels on the system eventually when

1 you have enough penetration. And so, what we need to keep
2 in mind is interoperability and security as we go forward
3 with the technologies that we do.

4 COMMISSIONER WEISENMILLER: Just the last question,
5 in terms of Edison's distribution system, what are your
6 experiences at this point in terms of PV installations? Are
7 you finding it similar to Kevin? I assume you don't have as
8 many PV systems out, at least not as many affected circuits?
9 Is that right?

10 MR. MONTROYA: Yeah, that's correct. One of the
11 things that we do have that's a little different is we have
12 to install 100 megawatts of solar rooftop PV per year for
13 the next five years. And what we're finding is that the
14 roofs that are big enough to handle a one or two megawatt PV
15 array are few and far between, and they're usually
16 clustered. And so, as we've looked at the queue of where
17 these PV arrays are going to be installed, or are proposed
18 to be installed, we're finding, you know, a 10 megawatt
19 circuit that as a queue in it with 21 megawatts of PV. So,
20 what we've done is we've actually developed some models and
21 we've done a lot of modeling of the PV inverters, we've
22 actually physically tested the inverters to verify the
23 models, and we're finding some interesting things like very
24 high voltages when the inverters and the solar are isolated
25 with the low loads, and so we're looking at what is the best

1 way to really achieve the controls that are going to be
2 necessary for the higher penetrations of the solar PV.
3 We're taking the view that we're going to try and make it
4 successful to integrate all of that PV and other PV, so
5 we're looking at tools to help us do that.

6 COMMISSIONER WEISENMILLER: That's great.

7 MR. MONTOYA: Okay, now I'd like to introduce Lee
8 Krevat from San Diego Gas and Electric.

9 MR. KREVAT: All right, thank you very much for
10 welcoming me here. I'm going to talk about some conclusions
11 and recommendations, a lot of which you have already heard
12 spread throughout not only this EPRI presentation, but the
13 earlier presentations from this morning. So, feel free to
14 ask questions if I need to clarify anything that I say or
15 that is up on the slides.

16 As we talked about probably that the main driver of
17 a lot of what we are doing in Smart Grid right now are the
18 energy policy goals, you know, all the IOUs have seen that
19 there are issues, even asking about distributed generation
20 and photovoltaics. At the end of 2009, we had 10 circuits
21 of our approximately 900 that have - this is just San Diego
22 - for example, 20 percent or more, with five having 40
23 percent or more at certain times of photovoltaics. So, we
24 are already seeing various types of issues. We're starting
25 to use different types of sensors, we have plans to use

1 synchronphasors to measure what's happening so we have some
2 data with that, and we think we have a couple of solutions
3 coming online to smooth out that intermittency on the
4 distribution level, although that is going to be harder to
5 do as it becomes more and more circuits over time. A second
6 driver that has really come on strong over the past year to
7 two years is really empowering the consumers to take
8 advantage of more open markets, so, because the Smart Meters
9 are out there, we're approaching two million in probably a
10 month from now, but we'll take two million out of our 2.3,
11 so we're closing in on completion here. Our customers are
12 hearing more and more, and I think all IOUs have this, where
13 they understand that the data is out there, so now they're
14 starting to say, "What are we going to do with the data?"
15 Various consumer advocacy groups are asking, "What can we do
16 with the data?" So, it's really driven very quickly Smart
17 Grid investment into that area and, again, all the IOUs are
18 working in conjunction to move in that area. I will say
19 what is exciting about the process that we did is that the
20 utilities, the major utilities in California, are all very
21 much, although we're doing different things and for
22 different reasons, because of what is evolving in our Grids,
23 we are in the same direction. There is nothing that we
24 absolutely disagreed about, it was really more fine tuning
25 to get statements we could all come to agreement on, and

1 that is a very good thing since we are trying to get
2 standards and not having to individually shoulder the burden
3 of all of the advancements we're trying to make. I was in
4 New York last week and a New York Commissioner spoke about
5 no desire to go first, and instead to just look at
6 California. So I think it's really important that, while
7 the rest of the country - it may not be moving like we are,
8 but we at least in California are in sync.

9 Another big thing to come out of not necessarily
10 just this effort, I'll give a lot of credit to the SB 17
11 effort to put together a Deployment Plan, is that in
12 addition to the different utilities looking together, the
13 domains within each specific utility are working together
14 more than ever. Really, at the beginning of this effort,
15 each domain customer, service provider, or transmission
16 distribution operations really looked at it from a very
17 within their domain perspective as to what they wanted to do
18 as they went forward. And as we're trying to build a
19 cohesive road map across the different domains, it has
20 forced us to get all the players together in the room and
21 talk about solutions and how they impact different domains
22 with the utility, and it's exciting to go from a few number
23 of people that really have that kind of broad knowledge to,
24 through discussion, having a much larger number of people
25 within the utility that understand how the different parts

1 of the utility work together.

2 And then, and you've heard the benefit areas that
3 we've talked about, it is a concern of all of ours that
4 people might think that this is all going to be about cost
5 payback, and some of the projects will lower costs, without
6 a doubt, but many of the projects we're doing, you know, the
7 benefits lie in continuing to provide reliable energy in the
8 face of great change. And also, something that has been
9 talked about very much today is the national security
10 perspective of having distributed generation and being able
11 to leverage it in case transmission-based energy is lost in
12 some amount of time, also a benefit of the Smart Grid.

13 So, recommendations, you asked a question earlier,
14 Commissioner, about how we avoid - this is how I interpreted
15 the question, you can correct me - at one point, we have an
16 urgent need to move forward because we have these - our
17 customers have goals to be able to leverage their data and
18 save costs, we have the energy policy goals which are also
19 customer driven, as we've seen, and we have the reliability
20 goals out there, so our customers also, it looks like, and
21 in California we have a huge number of orders for Nissan
22 Leafs, I think about 40 percent are California, of all the
23 orders that were made, so this is really about the customer
24 and we do have an issue with - it's coming on fast, but we
25 don't have the standards in place. And, really, the answer

1 there is to be careful and to start doing these
2 demonstration projects where we do try to get out in front
3 and understand how this is going to work, and I would
4 caution that it's not going to be perfect, we are going to
5 make mistakes. I think each utility probably has some
6 directions they've moved in that they've had to back out of
7 in order - because they went a little too fast, although
8 there were reasons that we went that fast, we had to solve
9 issues, so some of those solutions didn't work out as well
10 as we wanted, and we've had to re-do some programs, but we
11 want to minimize that. And even if you choose right, I'll
12 give an example, not the Beta Max VHS, I'll use VHS and CDs,
13 you know, so VHS was a standard, the price was driven down,
14 you could buy a VCR for under \$50.00, but still, eventually
15 came a better technology. So, we're never going to expect
16 that, just because we say something is a standard, it isn't
17 going to prevent a better technology to come along. So
18 we're going to see that also and that's going to create some
19 issues because where utility assets are there for a long
20 time, it's likely that, while we're happy with the
21 technology we've chosen, while it does become a standard,
22 that there might be following standards that we won't be
23 able to take advantage of as soon as we want because of what
24 we put in early.

25 Also, I already pointed out, I guess the video

1 technology, if you look at number nine, as far as leveraging
2 experiences from other industries, so you really could look
3 at any industry where technology, digital technology, has
4 come into play, and it's really totally changed that
5 industry, so we're certainly looking at Telecom, but we're
6 really looking at a number of industries beyond Telecom
7 where standards played a big role. Also, where competition
8 played a big role, we haven't talked about that much, but
9 it's certainly clear that advancements in technology from a
10 distributed generation perspective, storage, other energy
11 resources, fuel cells, for example, are going to bring some
12 - have already started to bring, and will continue to bring,
13 more and more competition to the energy industry.

14 So, really, again, I think as has been said a number
15 of times, but the Smart Grid is not the energy policy, but
16 if we're going to meet the energy policy that we have, as
17 well as just customer facing empowerment policies and meet
18 our reliability goals, then we really need Smart Grid to
19 make advancements quickly, and by the way, we've put these
20 road maps together, but in our experiences, every time we
21 take a new look at our road map for the next 10 years, we
22 haven't pushed anything back yet, and things continually are
23 moving up. In the last year, we moved maybe 40 percent now
24 of our road map up five years. Two years ago, people
25 weren't talking about electric vehicles, they weren't

1 talking about customer data, they weren't talking about
2 managing that with an iPhone and an iPad because there
3 wasn't an iPhone or an iPad. So, this is really moving fast
4 and will continue to move fast, which is why we're not
5 really trying to make a prediction or a forecast of exactly
6 what this going to look like, but we are trying to put a
7 vision out there, a road map that we can use as a guide,
8 understanding that it's going to change a lot as we move
9 forward.

10 And then the last caution is just the three IOUs for
11 really good reasons are focusing on different aspects of the
12 Smart Grids, in some places we're looking at doing it the
13 same way, or similar ways, but I think that's good because
14 that also brings innovation and, when we see one of the
15 other utilities do something, this is really - I should say
16 it's globally - we just met recently with Country Energy in
17 Australia, and actually it's them, that they have a
18 potential solution for the intermittency on the distribution
19 side, so I think it's healthy to talk to other utilities.
20 But within California, because we're kind of in the same
21 place, I will say, I know PG&E struggled with their
22 deployment, I think that, if you look, they have a lot of
23 customers now getting their data, looking at their data,
24 getting alerts, so it's also very positive story there if
25 you choose to look at the positive. And even another

1 positive, while it might not feel like it, PG&E, Edison, and
2 San Diego Gas & Electric got to look at results based on how
3 they did certain things, and we were able to learn from it.
4 And I think that we have to all be open to sharing our
5 mistakes so that we can learn from each other and not repeat
6 them.

7 COMMISSIONER WEISENMILLER: Thank you. I have three
8 areas I want to talk about. One is, of the Nissan Leaf,
9 what percentage of those are in San Diego? My impression is
10 you guys are really focused on trying to be a leader there.

11 MR. KREVAT: Yes. So we have an approximate number
12 from Nissan, they have not committed to this number. And
13 they may deny giving it to me, but approximately 2,000, so
14 about 10 percent of the Leafs nationally. I know that,
15 supposedly, on the 23rd of December, or next week, there's
16 another shipment coming of Leafs down to San Diego and
17 another one soon after that.

18 COMMISSIONER WEISENMILLER: And how are you dealing
19 with the potential for multiple vehicles on a single
20 circuit?

21 MR. KREVAT: Yeah, so, when I was ordering my Leaf,
22 my daughters were with me and my teenager, who is 17, who
23 I'm looking for a used car for said, "Dad, get me one also."
24 So it wouldn't have been the same, you know, transformer, we
25 live in the same house, and I was telling that story to a

1 San Diego organization, and the head of that organization
2 said she was looking at buying two, as well. So I think
3 these are real issues that are going to happen and what
4 we're doing now is we're actually leveraging the Smart Meter
5 data that we have hourly, so we're looking at a transformer
6 and the meters that are attached to that transformer, adding
7 up the hourly data hour by hour, and therefore building a
8 load profile for each transformer. And from that, we have
9 already gotten data that shows some transformers on the
10 hottest day of the year are over 200 percent capacity
11 already, a number are at over 150 percent. So, if you look
12 at that data, and then you're aware of an electric vehicle
13 and someone signs up for an EV rate, calls us up as part of
14 the process, then we'll be able to apply that predictive
15 data to that load profile on a hot day and see where we're
16 going to have issues. And luckily, even though there are a
17 lot coming, we will have some time as it ramps up to learn
18 and continue to improve the process.

19 COMMISSIONER WEISENMILLER: Good. Another question,
20 a lot of the electric system historically has had
21 depreciation over many decades, depreciation schedules over
22 many decades, and still in use 50 or 60 years later, where
23 obviously your iPhone or whatever has got a much shorter
24 life. What sort of depreciation schedule are you using for
25 the more computer electronic aspects of the Smart Grid? Or

1 what would you suggest?

2 MR. KREVAT: Okay, that's a difficult question.

3 What we are trying to - we have a project called "Grid Com"
4 which is basically a wireless cloud over San Diego, and so
5 we're trying to build it out so that the communications
6 aspect is modular and depreciate that over five to seven
7 years, whereas the parts that we expect to last longer were
8 depreciating over a more traditional length of time and in
9 some areas we can't do that, and with the Smart Meter,
10 that's difficult to do the Smart Meter, I think it's a 17-
11 year depreciation on that product.

12 COMMISSIONER WEISENMILLER: And I guess,
13 historically, it was about 30 for the old meters?

14 MR KREVAT: I believe so. And the software on the
15 back end, that's more of the - I think we're going for seven
16 or 10 years on the software on the back end, and the
17 hardware five years or seven years for a refresh, so
18 different aspects of the system, different timelines.

19 COMMISSIONER WEISENMILLER: That's good. Obviously,
20 we've looked at lot at Smart Grid implications for the
21 electric system. As a joint gas and electric system, you
22 know, is there any synergism here with your gas pipeline
23 system and distribution system, elements that you can and
24 should be rolling out there?

25 MR. KREVAT: And so we're investigating that now,

1 especially, again, with Grid Com coming into play, we'll
2 have communications systems. So, we're looking into how we
3 can leverage technology. If you look at the definition, it
4 could apply to gas, we're just trying to find some of those
5 positive benefit implications for our customers, trying to
6 identify those. But we already do have a piece, our gas -
7 in order to get the benefits from not having to read meters
8 manually, we have gas modules on our gas meters that
9 communicate with the electric meters. So, in a way, we're
10 already having it touch our gas system.

11 COMMISSIONER WEISENMILLER: I was at a hearing last
12 week in San Bruno on that incident and I was trying to
13 figure out also if there are any implications of Smart Grid
14 for those types of concerns.

15 MR. KREVAT: Well, I will say we are looking - I
16 can't go into details because we haven't really figured our
17 investigation, but we are looking at how to be able to
18 measure more remotely and respond to things, you know,
19 leveraging - again, it's about applying digital technology
20 to the Grid. And that could apply to other grids, as well.

21 COMMISSIONER WEISENMILLER: Okay, thanks.

22 MR. KREVAT: Thank you.

23 MR. GRAVELY: So we have a few minutes, if there are
24 burning questions in the room here, I would say for online,
25 if you have questions and would type in the questions, we

1 can potentially address those at the very beginning of the
2 second hour after lunch. Is there anybody here who would
3 like to talk to the utilities or Angela about their project
4 at all? Okay, we'll break for lunch. If you have
5 questions, give them to myself or Suzanne, maybe we'll start
6 with just a couple questions beginning at the next session,
7 but we'll come back and we'll hear from -- after lunch at
8 1:00, we'll reconvene and we'll hear the other two
9 technology road map statuses. Thank you very much.

10 (Off the record at 11:59 a.m.)

11 (Back on the record at 1:06 p.m.)

12 MR. GRAVELY: Go ahead, Merwin.

13 MR. BROWN: Okay, thank you. I'm Merwin Brown with
14 the California Institute for Energy and Environment with
15 University of California. And the question I'm asking
16 combines a number of points that I heard in the
17 presentation, so it doesn't necessarily go to any one point.
18 And what's behind this question is trying to get a sense of
19 the urgency for the development of new technologies for the
20 Smart Grid, and perhaps this also goes to the need for
21 changing certain policies, but that's not my direct
22 interest, it's the new technologies in order to meet the
23 State's energy policy goals, particularly renewable
24 integration by 2020. And there were some points made that
25 I'd like to follow-up on. One of them was that, in the road

1 map, it showed demand response not really being utilized
2 until after 2020. And also, a comment was made that, if we
3 had to, we could meet those goals with brute force which I
4 interpret to mean sort of we would build our way out of this
5 problem with the traditional transmission lines,
6 distributions lines, traditional power plants, using
7 traditional old technology. And I guess I would ask the
8 question, how comfortable or confident are we that, one, we
9 won't need demand response before 2020, and that we won't
10 need these other new technologies, that we will find it
11 increasingly difficult and expensive to try to build our way
12 to meeting the 2020 goals? And, again, I'm asking the
13 question in the context of is there a sense of urgency that
14 perhaps the road map doesn't bring to bear on new technology
15 development.

16 MR. GRAVELY: Angela can help me, but I've read the
17 chart to say that the DR's ancillary service was in your
18 five to 10 year window, not your after 20-year window, so it
19 was a medium - not a short term, but a medium, so it would
20 still be prior to 2020, but not necessarily right away. Is
21 that correct?

22 MR. BROWN: I'll take the demand response out of the
23 question, but I still have the one about the brute force.
24 Can we build our way out of this problem?

25 MR. GRAVELY: Right, so anybody want to address

1 that? So I'll help a little bit from my exposure with them
2 before, and that is, I think we realize from the California
3 perspective, permitting and other things, that the brute
4 force approach will work only in a dire emergency and a
5 small amount of the problem, so I suspect we will - and
6 Commissioner Weisenmiller, I do think over lunch your
7 question about the vision, and I would say, as we go into
8 the next presentation, I think the piece that I saw that
9 wasn't clear there was the desire and a vision of the Smart
10 Grid creating opportunity for commercial growth, creating
11 opportunity for new products, and encouraging the expansion
12 and growth of the commercial market, so we're going to
13 actually start now hearing a little bit more from the
14 vendors and the commercial side, but I would say most of the
15 vendors I've talked to, if we developed a vision in the
16 state, they would like that vision to include a desire or a
17 goal to open the market up for competition to allow
18 commercial products to grow and thrive, so that we actually
19 take that extra step, as opposed to just take what comes.
20 And with that, I'd like to turn it over to, I guess, David
21 is speaking today here? There are a couple of people here
22 from the Jet Propulsion Lab. So a reminder in this case
23 that they're about half way through their contracts, so they
24 have begun research, they are holding many of the technical
25 discussions, and they have begun to formulate their

1 information, so you have the ability to influence them, but
2 they may not have all the answers to questions you have.

3 MR. TRALLI: Thanks, Mike. It's my privilege to
4 represent the perspective of the manufacturers and vendors
5 on our team. The title of our project as we proposed it was
6 "Road Mapping the California Smart Grid through Risk
7 Retirement." Risk Retirement is a term that we used in the
8 Aerospace industry to define the set of actions that one
9 must do in the course of a program or project to mitigate or
10 move those risks to your requirements, to meeting your
11 requirements. So, one of the things I want to say before we
12 get started is how do we know as a community that we have
13 met our goals of 2020? How do we know that we've met our
14 goals of 2020? How do we know that we have the Smart Grid
15 that we thought we would? And how do we know over the next
16 decade that we're making progress towards meeting that 2020
17 Smart Grid?

18 So, I'm proud of listing everybody who contributed
19 to this study because it shows the amount of interest that
20 we have from this community in giving their perspectives to
21 what we were doing. It was our responsibility as a project
22 lead to gather all this information and put it in a manner
23 that makes sense and that is quite a challenge and we are in
24 the middle of that. We've held three workshops, one in
25 Pasadena, one in Sacramento, and one in Washington, D.C.,

1 and we have an incredible amount of information. A lot of
2 these companies were members of our trade organizations that
3 are part of our project advisory committee through the
4 American Council on Renewable Energy and the Electrical
5 Manufacturers Association, and then also the Gas Technology
6 institute. So, what we have here is some preliminary
7 findings and recommendations from what we've been able to
8 put together for the purposes of today's joint workshop.

9 The Commissioner asked a question at the beginning
10 that we share the view that we have to offer a definition of
11 Smart Grid in any conversation or presentation on Smart
12 Grid. This is the one that we went with in our proposal
13 which is attributed to Austin Energy: "Smart Grid is the
14 seamless integration of electric grid, communications
15 network, and necessary software and hardware to monitor,
16 control, and manage the generation, transmission,
17 distribution, storage, and consumption of energy by any
18 customer type, industrial, commercial, residential." But
19 more than that, for us, it also encompasses the integration
20 of renewable energy and electric vehicles, and also reflects
21 the importance of appropriate policy, regulations, and
22 standards.

23 Now, while I will not talk specifically about policy
24 and regulations, I will say that our first workshop back in
25 June, most of the time of that two-day workshop, was spent

1 on looking at issues and barriers related to regulations
2 that might get in the way to meeting these targets, and that
3 will all be part of the final report.

4 So the landscape, as we see it is this, that major
5 changes are need in the electric and the natural gas
6 infrastructure to meet the anticipated energy needs and to
7 address climate issues in the next decade and beyond. The
8 key point in natural gas is the fact that it is a major
9 component in the distributed generation space, and we'll
10 talk about that. The concept of the Smart Grid is driving
11 the development of advanced energy conversion, storage, and
12 reliable power delivery technologies and also the
13 integration of renewable resources and more efficient grid
14 operations. And this last point, that clean transportation
15 and greenhouse gas emissions from the grid itself also
16 forces us to examine our efficiency and consumption
17 considerations, this points to the California loading order,
18 that you don't just look at clean supply, that we need to
19 start by reducing consumption and garnering greater
20 efficiencies.

21 Our vision is this, luckily this wasn't a business
22 school exercise of seven words or less: "Reduction in
23 energy consumption and greenhouse gases from electricity
24 production and clean transportation are linked to provide
25 electricity producers, distributors, and consumers with

1 options for their preferred business models and operations
2 choices, means that we need to have sustainable, cost-
3 effective, secure, and reliable solutions that not only must
4 be developed, but demonstrated in the field, matured, and
5 then implemented." So, we start pointing to the natural
6 progression of technology maturation and technology risk
7 reduction through the demonstrations and scale-ups so that
8 we can engender commercialization not only first year risk
9 reduction by the Government and the State, but also
10 investment from the investment community.

11 We feel that a new paradigm is evolving where
12 generation, storage, and control are more distributed, along
13 with attendant modification to grid interconnections.
14 Commissioner had a lot of questions on distributed
15 generation, which we'll talk about. And in terms of
16 enabling that distributed generation, we feel that
17 microgrids are at the heart of this paradigm, providing co-
18 generation options with integration of renewables, including
19 rooftop PV systems and combined heat and power, while also
20 enabling options for reduced consumption through such things
21 as demand aggregation, distributed storage, EV
22 accommodation, and ultimately net zero buildings with the
23 2020 residential target. This will ultimately lead to a
24 Smart Grid that provides the ratepayer with a greater voice
25 in energy flexibility, efficient operations, and cost

1 structures. Some of these elements have been touched upon
2 in the morning sessions.

3 So, in terms of generating our baseline for 2020,
4 there were some key technologies which I'll list in a couple
5 of slides that we asked our project members to define for
6 us, not only the current state of technology, but what
7 technology is going to be in 2020, and how do we get from
8 2010 to 2020. It's what they call their current state in
9 these various key technologies that we're defining as part
10 of our 2010 baseline. I won't read them all, but solar and
11 wind integration, on the solar side, we have the CSI, you
12 guys can look this up in the presentation package, in demand
13 aggregation you have some very early projects in net zero
14 buildings that touch a little bit on that, or demand
15 management zones, which we'll talk about later.

16 Distribution automation, there is a lot of proprietary
17 products developed by a small number of OEM's, and there's
18 research needed to see how much this AMI with all these
19 meters out there can be suitable for stretching distribution
20 automation applications beyond the substation, more to the
21 meter part. Government is leading a lot of the development
22 of standards and the control and protection products and
23 deployment like transmission communication systems and AMI,
24 and these are snapshots from our project team.

25 EV accommodation, there is a lot of technology

1 factors and a lot of load impacts that have been mentioned,
2 and a lot of this needs to evolve, it obviously needs
3 advancements in battery technology, charging infrastructure,
4 and also that communications and control that enables the
5 accommodation of EVs on the Grid. In net zero construction,
6 you have the start of distributed generation at the
7 community residential level, energy efficiency, tax credits,
8 distribution generation, energy efficiency, AMI and control,
9 again, for proprietary products, by a small number of OEM
10 vendors, some source proprietary technology by smaller
11 numbers. A lot of discussion on bandwidth issues and mesh
12 networks and options there, and the communication space,
13 large and small vendors, government leading standards, and
14 customer benefit is not really clear.

15 And then microgrids, three different scales,
16 substation level like in the Maui project, feeder level like
17 DOD 29 Palms with GE, multi-facility direct load control,
18 and single facility, like a project going on in British
19 Canada. So, we can start seeing things happening, but our
20 message really, as you'll see, is that we need to look at
21 the Smart Grid as a system, and see how we can better
22 integrate all these demonstrations and stuff towards meeting
23 the 2020 target. Lastly here, storage. There is some
24 storage starting to meet daily electrical demands, energy
25 storage is derived from the shifting of energy production

1 from load demand periods to high demand periods, pumped
2 hydro-compressed air, steam generator options, and we need
3 development of more options for large-scale stationary
4 storage and lithium ions, ultra capacitors, flywheels, there
5 is a flywheel company in California, a recipient of Stimulus
6 funding, in Mike's list, in his presentation, flow
7 batteries. So, that's kind of our snapshot of some key
8 technologies 2020.

9 In terms of microgrids, our definition of microgrids
10 really refers to a document, a CEC report of 2007, a joint
11 workshop between CEC and Department of Energy in 2007, where
12 the microgrid was defined as an integrated power delivery
13 system consisting of interconnected loads and distributed
14 energy resources, often with its own storage. This connects
15 with the Grid or macro-grid, so you have an interconnect
16 there, integrated DR, it's capable of providing continuous
17 energy to a significant portion of the internal load. The
18 Grid possesses independent controls and can island from the
19 larger Grid. I think there is a lot of discussion of
20 options of the Microgrid as an architectural option for what
21 we're trying to accomplish. The Microgrid is an
22 architectural option for enabling distributed generation.
23 It's an option for modularity, for introducing technologies
24 out of modular levels so that we can then replace them with
25 more advanced technologies as the years go on, as Lee

1 pointed out from San Diego Gas & Electric. It also offers
2 more control, possibly more of a security risk, maybe it
3 minimizes the number of interconnections with the Grid, but
4 I think another interesting thing that we need to look at
5 with microgrids is from the point that Mike mentioned when
6 he introduced me, which is from the perspective of
7 generating new business and new market opportunities and
8 capabilities that we can develop in the state as a fleet
9 leader not only for the nation, but exporting capabilities
10 that we know in the Third World and in other parts,
11 microgrids are the way that they're going to go because they
12 don't have the old electric power infrastructure that we
13 have in this country, that we have to maintain, while we
14 also re-architect things to meet a 2020 goal.

15 So this report is available online, I recommend that
16 you take a look at that, it's 2007. How do we get there?
17 This was the key question. The Smart Grid we recognize is
18 an engineering system whose complexities not only span
19 technological and operational issues, but obviously policy,
20 regulatory market, and social factors. And the discipline
21 that we're trying to bring into this study and onward is to
22 plan for the design development, deployment, and
23 sustainability, by looking at what those top level
24 requirements of the Smart Grid are. Those top level
25 requirements are given to us by the IEPR, okay, and we'll

1 get to that. So, advanced energy conversion storage,
2 reliable delivery, renewable resources, clean
3 transportations in the form of EVs are all integral to that
4 system architecture. And we must not forget that the
5 expectations and benefits to the ratepayer must also be part
6 of that optimal solution. So the risk retirement is a
7 system level enterprise that we need to do through an
8 integrated series of key demonstration projects. We're
9 going to start in the next three years by looking at the
10 progress of all those projects on Mike's list that are
11 taking place in California, a lot of those are in placement
12 of advanced meters, some of them are energy storage, there
13 is one that is looking at flywheels, and we need to see
14 where all that stuff takes us and to find over the next 10
15 years what additional risk reduction demonstrations we need
16 that tie back to all the objectives that we have from the
17 IEPR, so that we know we're getting to where we need to be
18 in 2020. So, these demonstrations are to identify,
19 prioritize, mitigate, and systematically buy down the risks
20 of key technology and Smart Grid subsystem areas, and it is
21 for validation and verification of integrated systems within
22 the Smart Grid. Not only did you ask the question, did we
23 do what we wanted to do, but are we doing the right thing to
24 get to 2020 and beyond? So, these demonstrations,
25 assessments, and evaluations look at technical performance

1 and cost, they look at controls and interfaces,
2 interoperability, they look at the possibility of scale-up,
3 safety, reliability and security, codes and standards,
4 business model feasibility for the utilities, for the
5 vendors, for the consumer, market transformation needs, and
6 the leveraging between applications. And again, as was
7 mentioned earlier, the lessons learned, lessons learned
8 amongst and between utilities, technology developers, and
9 the ratepayer. We benchmark, we develop best practices, we
10 learn from that, and we march to the 2020 target and beyond.

11 So, as part of our study, we designed a couple dozen
12 questions that we offered to ACORE on our project advisory
13 committee and they distributed this to their membership, 214
14 people participated, and these are just a sample of the
15 questions and the answers that came from that membership
16 survey. The greatest barrier to establishment of the Smart
17 Grid, 1) lack of consumer knowledge and education; I think
18 we've seen that before; potential loss of consumer autonomy
19 and control, that was a concern; not enough financial
20 incentives, which of course we know; and then, no regulatory
21 regulation. In the interest of time, I won't read these
22 sub-bullets, but we can talk later, you obviously have a
23 copy of the presentation online. What are the three most
24 important technologies for Smart Grid implementation and
25 why? Control and communications, of course, is big;

1 advanced metering infrastructure, which of course we are
2 moving forward with that; and then, the integration of
3 photovoltaics and wind, and storage for firming up
4 intermittent resources.

5 Study approach. Basically, as the project lead on
6 this, we wanted to rely on the input of a wide range of
7 Smart Grid technology manufacturers and vendors through a
8 series of workshops and surveys, and continual e-mail and
9 exchanges and discussions, and to develop the top down
10 system engineering approach to road mapping or proscribing
11 what the key actions need to be to meet the objectives. I
12 will share with you key technologies and use cases. We've
13 held some workshops and the underlying engine of process to
14 what we're doing, which we're not going to talk about today,
15 is that Risk Retirement approach of understanding, what are
16 our high level objectives, which are coming, and you should
17 know them, and we listed it through workshops, what are the
18 risks and barriers at all levels? Physical, functional,
19 market, operational, regulatory, okay, that are in the way
20 or potentially in the way of meeting those objectives, and
21 then what do we do to mitigate those objectives in time so
22 that the more we beat down those risks or buy down those
23 risks through demonstrations, the more we know that we are
24 attaining the objectives set forth.

25 So, the key technologies that came out of our

1 workshops were storage, rooftop PV, demand aggregation, the
2 biomass base CHP, microgrids, CCUBE, Command Communications
3 and Control, distribution automation, AMI, EV accommodation,
4 and integration of solar and wind towards meeting the RPS
5 targets. We defined six use cases which are the core of
6 maybe defining some interesting, or pulling together some
7 interesting future demonstration projects around the role of
8 natural gas and DG for CHP, combined with biomass, looking
9 at command and control, and distribution automation,
10 including what we can do with AMI, communications and
11 control for the accommodation of plug-in hybrids and plug-in
12 electric vehicles, biosources, biomass as part of the RPS
13 target with a proscribed target for biosources and for fuel
14 cells for energy storage and working with CHP, and then
15 large scale storage to firm up wind and solar. The policy
16 goals are these nine - it's kind of funny that there are
17 question marks - those should be 1 through 9, that's not me.
18 So these are the ones that we pulled out of the IEPR, these
19 are the ones that the top down system analysis speaks to.
20 We have to do things that we can link through our system,
21 have something to do with doing a better job of attaining
22 these objectives to 2020 and beyond. And then we also
23 looked at six additional objectives that came out of a DOE
24 study for their Smart Grid work, but we're really speaking
25 to these top nine here.

1 So what we did here, and we can talk about this
2 later, we have the charts up on the wall behind the
3 Commissioner, but what we wanted to do was develop a
4 framework for our roadmaps, and I think somebody, I think it
5 was Angela that said, you know, we have road maps for
6 different technologies. I don't think we're going to have a
7 singular roadmap because there's going to be a series or suite
8 of roadmaps where each one of these key technology areas are
9 core components of the Smart Grid system. But what we did
10 is identify the fact that we have the reduced consumption
11 side, and then we have the clean supply side, okay? And
12 that pays attention to the loading order in the State. And
13 down the middle comes the existing infrastructure, this is
14 a timeline from left to right. Down the middle is the
15 existing infrastructure of the electric grid and the natural
16 gas distribution grid. And so, what we noticed was that out
17 of those nine objectives, there are not nine independent
18 objectives, they are nestled, you start with number one as
19 33 percent RPS; we have small hydro, we have geothermal, we
20 have centralized PV, centralized wind, we have biomass, but
21 now within that, there's a specific target for biomass in
22 the IEPR, and there's a specific target of 5.4 gigawatt
23 increase in CHP, and the biomass is linked to the CHP, and
24 the CHP is linked to natural gas to supplement biogas
25 generation. And then you have rooftop PV. Rooftop PV is

1 part of reaching a solar renewable target, and so these PV,
2 CHP, biomass, are increasingly distributed, and how do we
3 enable and accommodate those distributed energy resources
4 into the utility grid? Well, one architectural option is
5 microgrids, and that is something we want to look at.

6 On the consumption side, or demand side, there's
7 overall reduction target, a target and reduced consumption
8 overall, there is reductions in peak demand, there is the
9 ability to meet that peak demand through demand response,
10 either dynamic pricing signals, voluntary programs, or
11 something exercised by the utilities. Then, you also have
12 efficient production, distribution, net zero construction,
13 this notion of demand management zones, net zero
14 construction that is kind of stalled right now because of
15 the state of the real estate market and the economy, so we
16 need to understand where these things are going to start
17 happening and how they're related. And then you have EV
18 accommodation. EV accommodation that will put a load on the
19 grid, EV for resident storage, for frequency regulation, how
20 is this all going to play out, and how do we accommodate
21 electric vehicles? And microgrids, multiple scales -
22 commercial, industrial, residential. Where do we need to do
23 Risk Retirement demonstrations so that we know that these
24 demonstrations address multiple targets, and one
25 demonstration is linked to the other and related to the

1 other, and make an assessment midstream, like five years
2 from now, to see how we're doing, where do we need to re-
3 architect, and where do we move forward on to 2020?

4 So, the preliminary findings were that barriers
5 cited by our industry partners are not exclusively
6 technical, they are economic, financial, regulatory, and
7 social. Stimulus funding is good, but it's not enough to
8 overcome the lack of capital needed for large scale
9 deployment. Distribution grids are not set up to evolve
10 into grids or microgrids, there will be increased
11 opportunities for physical attacks, modularity, microgrids,
12 breaking up the grid into smaller chunks affords you a lot
13 of benefit on one hand, but also introduces other portals
14 for cyber threats, so that needs to be traded off. Time of
15 use retail pricing changes that interface between retail and
16 wholesale market systems, and then Smart Grid system models
17 that look at all the stakeholders are badly needed. I think
18 it was Recommendation 6 out of SDG&E that said we need to
19 look at architectural options and look at things as systems
20 to systems, we couldn't agree more. And there is much
21 development needed in storage.

22 Energy storage is needed for a variety of Smart Grid
23 applications, peak shaving, bar support, renewable energy
24 integration, electric vehicles, frequency regulation, and
25 islanding - islanding, that is another benefit, perhaps,

1 that if you have a potential brown-out or something, you can
2 maybe control it in near or real time from cascading by just
3 breaking things down in to localized load and supply
4 domains. Distributed generation in combination with
5 distributed storage offers many opportunities to achieve
6 greatest efficiency and operational benefits. Biomass for
7 reducing greenhouse gasses, and the interplay with that,
8 with natural gas a clean fossil fuel in the CHP, and the
9 impact and benefits of electric vehicles. I will move on.
10 This was through a discussion with folks we know at General
11 Motors, the primary goals of OEM's, of course they have to
12 develop a product that is saleable and welcomed in the
13 marketplace. Everybody knows that we want to reduce our
14 dependency on oil and reduce greenhouse gas emissions, there
15 is the whole issue of charging standards and interfacing
16 with the grid.

17 Impact on the grid - you must integrate with the
18 Smart Grid infrastructure with minimal effort and expense,
19 so there is a lot of communications and control issues that
20 need to come in there, on top of the issue that we talked
21 about earlier, which is, if the electric vehicles are very
22 clustered, they put a load onto the circuit, that creates a
23 problem, so how are we going to manage that. And other uses
24 for EV's, I won't get into this because I'm probably out of
25 time soon.

1 Let's see, Incentives. We need to incentivize the
2 consumers to engage in Smart Grid related activities, maybe
3 some joint projects between the ratepayers and utilities,
4 utilities and industrials and commercials, conduct studies
5 and analyses, education campaigns, we saw that earlier
6 today, conduct additional demonstration projects for Smart
7 Grid functions and Smart Grid elements under the context of
8 a complex system, microgrid demos of which there are some
9 already in-state. Let's see, ensure that regulations do not
10 unbalance value propositions, EERS for the net zero issue,
11 and others here. So, these are all documented. Energy
12 storage, lack of appropriate energy storage was the most
13 frequently mentioned technological barrier towards meeting
14 the Smart Grid related goals by supplier representatives at
15 our workshop, that's how we would use storage.

16 Recommendation - California should undertake a
17 carefully planned campaign to address the need for language
18 updates and tariffs and standards to ensure proper
19 evaluation of storage and a range of Smart Grid
20 applications. Let's see, energy storage - incorporation of
21 energy storage and microgrid operations, coupled with
22 microgrids, and then looking at this. Let me mention that,
23 on the electric vehicle accommodation, our lead for that was
24 General Electric, who also provided some stuff on the
25 communications and controls for accommodation for Electric

1 Vehicles. National Electrical Manufacturers Association
2 took a cut at distribution, automation, and demand
3 management zones. We have A123 Systems on the team that
4 helped us with some of these stationary storage barriers and
5 ideas, Fuel Cell Energy on the combined heat and power space
6 for load following stuff, base load, supply, and I'll show
7 you a representative example. Gas Technology Institute also
8 on the CHP and microgrid arena, Sun Power on the rooftop PV,
9 and a host of others that were part of Slide 2. Microgrids
10 -- very much interested, the industry participants in the
11 project, in looking at the microgrid as an architectural
12 option for meeting the California goals. And there is some
13 stuff in there that I certainly would like to understand. I
14 mean, does the microgrid - I'll just throw that out there as
15 a question - are there architectural options that engender
16 more business than market development opportunities for the
17 state and attendant job creation and capabilities for
18 manufacturing in the state, that can also be exported
19 nationally for the national grid, and abroad across the
20 Pacific where there is going to be a lot of growth in this?
21 So, it's another, you know, architectural options are not
22 just technical and physical, okay, they are functional,
23 operational, market driven, economic, and so, when you do
24 the tradeoff analysis, you're not just focused on technical
25 performance and cost, but all these other issues, and so is

1 this an architectural option that would leverage more of the
2 things that we're trying to do?

3 Microgrids are inhibited right now from growth
4 because of the readiness of the consumers, system knowledge,
5 the need for more system architectural trades,
6 recommendation 6 of the EPRI Report, stuff that we're trying
7 to do here, energy storage, looking at issues and
8 regulations and standards for communications,
9 interoperability, and the availability of financial
10 arrangements. Okay, stimulus funding is good, it reduces
11 the first tier of risk and technologies that need to be
12 rapidly commercialized, marketed, and scaled up, so what are
13 the analogs to clean technologies, to biotech and IT of the
14 previous Silicon Valley runs that the state has had? We
15 need to understand that, okay, and that is part of the
16 trade-off space, as I mentioned last. And, again, lastly,
17 which was I think mentioned in the modularity discussion by
18 Lee and I think alluded to by Merwin as understand that the
19 Grid and the technology that supports it is not static,
20 things will be evolving, technology will be maturing, and
21 how do we best do that and not lock ourselves into options
22 right now that are going to be costly to replace, albeit
23 better in the future as we move to 2020? And microgrids for
24 looking at operational efficiency, and maybe some customer
25 benefit issues of microgrids that are worth looking at, and

1 the details are - and microgrids, here you go, maybe this is
2 the system of systems, okay? You have nuclear base load,
3 remote solar, remote wind, hydropower remote, with some
4 microgrid options more at the industrial, commercial,
5 residential level, integrated with the utility, third-party
6 ownership, controls, interconnections, all that stuff needs
7 to be worked out, but those are the things that we would
8 recommend be looked at. Demand Response - no clear cut
9 ownership preference, utility, customer, or third-party
10 demand aggregator, this came out of discussions in our
11 workshops, and we need to carry out further studies to see
12 if further actions are needed to focus on investment and
13 development efforts to define specific forms of demand
14 response management - who is responsible for it, what are
15 the best ways of addressing market forces there? And then,
16 this is just an example provided to us by Fuel Cell Energy,
17 putting together capabilities that address base load and
18 address load following capabilities to firm up wind on one
19 side, but to use the wind power to maybe electrolyze the
20 water, generate hydrogen as a storage option, and that also
21 takes hydrogen co-generated from a larger scale biogas
22 facility, and use that to feed the load following system, or
23 instead of the electrolyzer, you can put a stationary
24 battery system. What I like about this demonstration, if
25 you look at the checkmarks, is that it allows you to

1 integrate intermittent resources, it helps you meet that
2 number one target. It provides flexible fuel options, not
3 only on the renewable side, but it's a play for natural gas,
4 which we're trying to accommodate. There's no fuel
5 consumption in the spinning reserve state, it reduces that,
6 it's efficient, it's zero emissions goal number nine,
7 bringing back our GHG's to 1990 levels, it offers a rapid
8 load following capability of distribution automation, super
9 peaking, distributed gen, so these are the kinds of projects
10 and systems - I'll use that word, systems or components,
11 that we need to look at, so that we're not just looking at
12 storage, or we're not just looking at one piece, but we
13 start looking at integrating what we need to do, so that we
14 develop the California Smart Grid as a system in the next
15 decade. This is where we're at. We're going to explore
16 deeper in two or three architectural options and look at
17 some key system tradeoffs, space domains like the biomass,
18 CHP, industrial scale, 10 megawatt microgrids, look at
19 hydrogen for storage, fuel cells, or even for transportation
20 for that matter, and demand aggregation, demand management
21 zones that the commercial, residential, microgrid area, net
22 zero buildings, there is some interesting stuff coming out
23 in the press from Wal-Mart and their interest in microgrids
24 and putting systems on their roofs and parking lots, which
25 is really intriguing, electric vehicle accommodation, the

1 command control structures there for the additional load for
2 using that as additional storage for frequency regulation.
3 What we're trying to do also in the second bullet is, some
4 of these objectives from the IEPR are very numeric, you
5 know, 33 percent, well, we can go back and look at the
6 database at the state, we know how much we're generating
7 from renewables, and we know how much we're using biomass,
8 and we know what we're doing in CHP, so, as you're moving
9 forward, we need to know the systems that we're putting in
10 place and maturing into the grid, we need to know how much
11 energy we're supplying with that and we need to know where
12 the demand is, and so we're trying to put together a model
13 that allows us to say that we're retiring the risks and
14 those risks are linked to those objectives, it points to
15 actions or activities that we know in an energy balanced
16 sense how much energy we're putting in CHP, biomass, RPS,
17 solar rooftop, how much we're reducing consumption, how much
18 we've reduced peak demand, things like that. So, we're
19 exploring that, and then we're going to offer a
20 recommendation of Risk Retirement demonstrations that
21 integrate various key technologies like I've listed, and a
22 suite of key technologies that address more than one IEPR
23 goal, that would be ideal, and to do those one, or two, or
24 three year centers as we recommended in our framework and
25 timeline, so that we can then put up all these key

1 technology road maps to understand how everything is related
2 at any given point in time, over the next decade. I like
3 what Angela does - short term, midterm, long term,
4 understand where are we towards meeting every single one of
5 those nine objectives. Our final report, including
6 recommendations for research development demonstration, and
7 also some thoughts on integrating the three perspectives, we
8 started back in June, so nine month study, something like
9 that, we're looking to wrap up some time in March, maybe a
10 month after that. But it's been an incredible project
11 because, as you can see from the list of project
12 participants, the amount of information, not only that is
13 available on the Web, but the amount of information that
14 vendors have provided us is, frankly, overwhelming. And to
15 make some sense of that in terms of meeting what the
16 objectives of the study is, you know, where are we, where we
17 do we want to be, what is the vision for 2020 under this
18 group of people, and how do we get there and how do we give
19 the State, not only the Energy Commission, but the Utilities
20 Commission, a process, a method, a tool, where you can see
21 this is how we're meeting those objectives, and pull
22 together, you know, the IOU's, the MOU's and the vendor
23 community, that is exciting, but it is difficult, no doubt
24 about it. So, that's where we are. I'd be happy to answer
25 questions or meet with you afterwards, but that's the

1 snapshot for now.

2 COMMISSIONER WEISENMILLER: The only question I had
3 was on page 12, on the ACORE slide, where did demand
4 response come? You listed top three, but where was that?
5 Was that number four, or was it lower, or what?

6 MR. TRALLI: On the ACORE questionnaire?

7 COMMISSIONER WEISENMILLER: Yes.

8 MR. TRALLI: I don't -

9 COMMISSIONER WEISENMILLER: "Important
10 Technologies."

11 MR. TRALLI: Oh, on the Key Technologies?

12 COMMISSIONER WEISENMILLER: "Important
13 Technologies," it's your slide 12.

14 MR. TRALLI: Slide 12 is that one, right?

15 COMMISSIONER WEISENMILLER: Yeah, so where -

16 MR. TRALLI: Oh, okay, yeah, right, we had like, I
17 don't know, a dozen and a half or two dozen questions that
18 we forwarded to ACORE and ACORE forwarded that to their
19 membership, this synopsis, this just happens to be question
20 6, this was - we received this from ACORE. I would have to
21 go back and see what the attendant questions were that
22 touched on demand response, that's not under here.

23 COMMISSIONER WEISENMILLER: Okay, thanks.

24 MR. TRALLI: It's not to say that it's not, we'd
25 have to go look.

1 COMMISSIONER WEISENMILLER: Okay, thank you.

2 MR. GRAVELY: Questions from the audience? Anybody
3 online, if you want, would you raise your hand real quick
4 before we go to the next speaker? Anybody interested --
5 we'll have a question and answer session after the next
6 presentation also, so there will be an opportunity. Now
7 we'll hear from the public utilities perspective. Again, as
8 I mentioned, RW Beck and Steve Rupp will be presenting that,
9 and his will be presenting basically the successful proposal
10 they submitted to the Commission, it was a competitive
11 award, as were all three of these, and what their plans are
12 and some other challenges going forward, and anything he's
13 learned today, he wants to inquire about. Steve?

14 MR. RUPP: Well, good afternoon and we very much
15 appreciate the opportunity to be in the company of so darn
16 many smart people. I'm going to try to not cover ground
17 that's been covered before with the excellent work that our
18 friends in the investor-owned utility space and friends in
19 the industrial space have covered, but I think, you know,
20 we've got the benefit of starting last, and I think that's a
21 really good position to be in, in this space. Tons and tons
22 of lessons learned, tons and more lessons to be learned in
23 the coming weeks, months and years about how we really
24 navigate our way through the Smart Grid future that we're
25 facing. We're really excited about the challenge that's

1 before us and I think, to kind of summarize it quickly, you
2 know, we've got 29 and growing, different voices that
3 reflect California's interest in energy and how Smart Grid
4 might change our energy future, and that's in our community-
5 based utilities. This is a very interesting population of
6 decision-makers and service providers to work with, they're
7 extraordinarily diverse. We've got folks that are small
8 electric only service providers serving maybe a few thousand
9 customers in a very rural setting, to whom demand response
10 really isn't a relevant topic to discuss, to whom changing
11 the way that they go out and read meters is really not very
12 exciting because they see that process of interacting with
13 their customers as being vital to the service that they
14 provide in their community. So, that's one end of the
15 spectrum. At another point in this place, we have utilities
16 that are providing telecommunications, natural gas,
17 electricity, and water to their community, and to them this
18 whole question about Smart Grid looks very different than it
19 does to our traditional electric utilities. We've got
20 leaders and followers, we've got folks like SMUD and
21 Glendale, Santa Clara, that are really advancing the
22 technology of Smart Grid. We've got folks that haven't even
23 started thinking about it. And in the middle is where most
24 of our states' publicly owned utilities, they're in a pack
25 watching and waiting carefully to understand which direction

1 the tide is going to flow, so they can make a decision that
2 is going to provide the greatest benefit and the least
3 impact to their communities.

4 So we've got now a challenge before us, which is to
5 bring 29 different voices to the table and try to coalesce
6 their interests into a road map that helps get to the vision
7 that I don't think any of them disagree with in terms of the
8 importance of achieving these policy objectives that we've
9 set out in IEPR, like trying to make a decision to travel
10 from the far northern part of the state to the far southern
11 part of the state, there's a lot of ways to do it, you can
12 take an airplane and get there quickly, or you can take back
13 roads on your bicycle and spend a couple years doing it.
14 And that's, I think, really what's going to test the
15 robustness of any road map that we come up with out of this
16 process is, is there a path that works for everybody that is
17 at the table. And to the extent that we can help Mike and
18 his people on the research side understand where to apply
19 their energy and their efforts in making sure that the paths
20 are free of roadblocks and that they're able to advance the
21 ability of these paths to provide an efficient course for
22 folks to navigate their way through the Smart Grid, then we
23 will have done our job. So that's kind of how we see trying
24 to bring together the POU perspective.

25 Again, covering a lot of ground that's been covered

1 before in terms of what the vision is, I'm not going to go
2 into that because we've articulated it really clearly. We
3 see the project as having three really important real goals,
4 1) to try to develop a broadly shared and supported vision
5 of the Smart Grid for 2020, one that not only encompasses
6 the distinct difference between investor-owned utilities and
7 community-owned utilities, and one that addresses the
8 interests of not just the service providers, but also the
9 technology providers, as well as one that reflects 29
10 different types of utilities in the state. It's going to be
11 a real challenge, we've got some strategies around how to do
12 it; 2) coming up with what really is the core of the road
13 map, and that is a technology and a program assessment
14 framework that allows utilities large and small to try to
15 find a path that's going to work best for them and their
16 owner ratepayers, if we can accomplish that, then I think
17 we've really done the best service that we can do, and we'll
18 go into the presentation here and tell you a little bit
19 about how we're going to do that; finally, building with the
20 other efforts in the research project, we've got to come up
21 with a real coalesced, comprehensive road map that's going
22 to work for everybody, so hopefully we can accomplish those
23 three important goals.

24 We talked about this ad nauseum, about how the
25 state's energy landscape is changing, what's really

1 important, so I'm not going to belabor that. I think what's
2 important, though, to touch on is, particularly around
3 issues like greenhouse gas reduction, the community-owned
4 utilities is a great example of local government at work,
5 you've got utility boards and city councils who see it upon
6 themselves to set policies and make determinations about the
7 direction of their community that's not only aligned with
8 what the broader state and nation want to do, but really
9 reflect the individual desires, interests, at once of the
10 folks that are in the community. And with that, you see
11 when you look at the state's publicly owned utilities,
12 you've got some folks that are more aggressive than what the
13 state vision is, and you've got folks who are much less
14 aggressive than what the state vision is, in terms of things
15 like greenhouse gas reduction. You've got utilities who are
16 committed to rolling back their reductions to a greater
17 degree, and sooner than what AB 32 would have, and you have
18 utilities that are scratching their head, wondering how
19 they're ever going to accomplish that when they're dependent
20 upon carbon-based fuels to provide cheap power to their
21 customers. So it's going to be a very interesting task to
22 navigate.

23 We talked about this, we've got to come up with a
24 common POU vision, which doesn't mean we have to have
25 everybody in agreement about what we're going to do, we just

1 need to be able to get through a highly collaborative
2 process, 29 different voices to the table, that can
3 contribute to the state's plans to go and rely on Smart Grid
4 to achieve important energy efficiency improvements,
5 important integration of distributed renewable resources,
6 and these things that, in my opinion, are realities that
7 utilities have to embrace, they just need to find a way to
8 do it that allows them to meet their commitments to their
9 customer ratepayers.

10 Our process, you know, we've got to engage the
11 State's publicly owned utilities, we've got to get them to
12 collaborate, we've got planned a series of stakeholder
13 processes that both the IOUs and JPL and their team had to
14 go through, and I hope to learn a lot about how to do that
15 well by working with them, and then, again, come up with a
16 road map that is going to return value back to the utilities
17 that are depending on us to help provide that kind of
18 direction.

19 We've laid out a very detailed project approach,
20 working with the staff here at the Energy Commission, and
21 the publicly owned utilities who will be involved in it,
22 it's flexible, it's adaptable, it's not yet set in stone,
23 but generally it's built on this idea of a stakeholder group
24 that is our vehicle for collaboration, focusing on
25 developing a framework around evaluating the technologies

1 that we've define as Smart Grid, and understanding how to
2 measure and predict the impact of those technologies on
3 achieving important goals, and understanding at what risk
4 and at what cost, so that that can be formulated into the
5 decision, and in the end coming up with a road map that
6 leads to the vision that has a path on it for all of the
7 different utilities.

8 Our schedule, we're just getting started, we expect
9 to be wrapped up by mid-summer. We'll be last to start,
10 last to finish, and look forward to doing as good a job as
11 our friends at JPL, PG&E, Edison and San Diego have done.
12 So, I'm beginning, so we don't have a lot of pithy content
13 for you yet, but I'm happy to answer any questions about our
14 approach that I can.

15 COMMISSIONER WEISENMILLER: Yeah, thank you, just a
16 couple of questions, one is, in terms of the POU's at this
17 point, are there any utilities, say, a SMUD, or an LADWP,
18 which have put together already a road map for their Smart
19 Grid efforts?

20 MR. RUPP: There's a broad spectrum of road maps
21 that are out there. You'll find road maps that Glendale has
22 completed, a fairly comprehensive road map, Burbank is not
23 quite as far along, but further than most, SMUD, of course,
24 is way down the road, they have a very clear vision, and it
25 was very well articulated in the Smart Sacramento project,

1 the State's largest Smart Grid implementation grant through
2 the ARRA Stimulus program, so you've got, again, a great
3 example of folks that have very highly evolved thinking
4 about Smart Grid in terms of both their objectives and the
5 timelines and the costs and the expected benefits of getting
6 there. You know, we've got a lot of utilities. In fact, I
7 would say most of the State's POU's haven't started yet.

8 COMMISSIONER WEISENMILLER: And one of the
9 challenges, I think, for you, is the basic question of how
10 much of these components, hardware or software, really have
11 economies of scale which could certainly affect what is
12 optimal for your Grid vs. your LADWP, say.

13 MR. RUPP: That's a great point, and it's a problem
14 that really is not particularly unique to California's
15 publicly owned utilities, you know, you could look across
16 the country at how this challenge plagues utilities who want
17 to make moves in the directions that you've seen the larger
18 ones doing -- Austin Energy, SMUD -- but they can't afford
19 to do it, they can't afford to take the risk around
20 technology obsolescence, the economies of scale aren't
21 there, and it does become a challenge. So, some examples of
22 - I can tell you about that utilities are taking to overcome
23 those challenges, as our publicly owned utilities have done
24 for many years, when they get into the economies of scale
25 challenge, they begin to combine forces. And so, a joint

1 action becomes a vehicle through which publicly owned
2 utilities can accomplish these broader objectives with least
3 impact on their community ratepayers, or their owner
4 ratepayers.

5 COMMISSIONER WEISENMILLER: Yeah, I guess the final
6 one, certainly along with the economies of scale question,
7 typically you have a much lower cost of capital, so in
8 theory, at least, for more capital intensive technologies
9 might be more attractive for you as opposed to the IOUs.

10 MR. RUPP: That, taken on its own face, is
11 absolutely true, the cost of capital tends to be more
12 attractive for publicly owned utilities, but you have to
13 look at capital expenditures in the context of a broader
14 equation that relates to what you're willing to charge
15 customers for your product, and many publicly owned
16 utilities put the cost of energy as number one by a large
17 gap over any other requirement that's important, and so then
18 it becomes not just the cost of capital that's important,
19 but spending any capital, and understanding, really, what is
20 the return of that investment to their ratepayers. So, it
21 is, you know, certainly cheaper for a publicly owned utility
22 to go out and borrow money from time to time and that's not
23 entirely true for every publicly owned utility, but, taken
24 by itself, it's not really an indicator that it's an
25 advantage for them in this context.

1 COMMISSIONER WEISENMILLER: Thanks.

2 MR. GRAVELY: Questions from the audience here?

3 MR. TRALLI: This is a question looking nine months
4 from now when we start integrating your study into ours. I
5 think I read that the MOUs or POUs, they're subject to
6 different rules or whatever for power generation. You guys
7 can own your own power generation assets, whereas the IOUs
8 cannot since the deregulation - or what's the difference on
9 the power generation side between the POUs and IOUs, and
10 where you see some, in an overall statewide Smart Grid,
11 where do you see the overlap on that side alone, the gen
12 side with the IOUs and the technology community?

13 MR. RUPP: Well, so it's interesting, and you can
14 look at it from a couple of different directions, and I
15 don't know that there is one answer, and I know for sure
16 there is no short answer to it. If we look at it from
17 what's relevant to this dialogue, which is distributed
18 generation, there really is no difference. A municipal or
19 publicly owned utility can go out and own a small utility
20 scale or a rooftop scale distributed generation resource,
21 just like an investor-owned utility could - zero difference.
22 You know, the differences around owning assets, I think,
23 changes as you begin to start talking about larger and
24 larger and larger assets, and how that fits into the
25 regulations in the State of California. But I think it's

1 also true that, you know, I'm sure I'll find out if I'm
2 wrong here, but I do believe that all of our State's
3 investor-owned utilities still own generation, maybe not as
4 much as they used to, but they all still owned, and they're
5 all still building and developing new generation assets.
6 So, again, I don't see it as a huge discriminator in this
7 context.

8 COMMISSIONER WEISENMILLER: Yeah, and I don't think
9 we need to spend much time here on that issue, that type of
10 background is certainly in the IEPR if you read it.

11 MR. TRALLI: Oh, David Tralli, JPL, question.

12 MR. RUPP: So, my strategy of trying to say the
13 least to get the least questions did not work. Next time.
14 I've got 100 percent more questions than anybody else.

15 MR. GRAVELY: Go ahead.

16 MR. RUSS: Yes, hi, Steve. My name is Bob Russ with
17 Internex. We, too, have assisted some MUNIs and stuff in
18 helping them sort of lay things out, and what's interesting
19 is that you do have the leaders, I mean, you have some folks
20 like Alameda Power which is 80 percent renewable already,
21 you know, way ahead of any goal California has, Silicon
22 Valley Power way ahead in those areas, too, in implementing
23 Smart Grid stuff. But what we find, and what I'm just
24 curious if you've had a chance to start structuring your
25 thinking on this, is because in a way the MUNIs, their

1 owners, are their Board, you know, they're all one and the
2 same, and so they have a lot more flexibility in justifying
3 expenditures. Have you thought at all about how do you help
4 a MUNI really sort of economically justify what it means to
5 try to implement Smart Grid within their system? Thank you.

6 MR. RUPP: Well, there's - if you want to talk about
7 objective economic justification, these are formulas, and
8 economic justification is a test that, you know, is very
9 straightforward. Where it becomes difficult in this space
10 is understanding the benefits side of the equation because,
11 you know, I would content that benefits are still evolving
12 from Smart Grid implementation. We're still trying to test
13 and understand how we quantify the benefits associated with
14 distributed generation. We're trying to understand how to
15 quantify the benefits associated with demand response. And
16 you know, so it's a little bit of a - I won't call it a
17 guessing game, but it's not a simple analysis that one might
18 do in terms of looking at prioritizing your capital
19 expenditure plan for the year, which is a very mechanical,
20 methodical approach. So, the math is what the math is. I
21 think what you find differently is that a small municipal
22 owned utility is not very well positioned to manage a very
23 significant amount of risk around what a benefit might be.
24 Certainly, the larger more sophisticated municipal
25 utilities, SMUD, for example, a leader in research around

1 demand response, is very well-positioned to take a little
2 higher risk about quantifying the benefits associated with
3 the demand response because they've been doing research on
4 it for 20 years, so they know very well, and what they make
5 a decision about just to spend a dollar to achieve a \$1.20
6 of benefits on demand response, they feel confident about
7 doing that. I can tell you, other utilities have not done
8 that research and don't understand or see the same benefit
9 from demand response, take the City of Lompoc, a coastal
10 community that doesn't have a needle peak to deal with,
11 demand response to them? Not so easy to quantify.

12 MR. RUSS: Yeah, I mean, just as a follow-up, like
13 you say, the big guys, the SMUDs and the LADWPs and the
14 IOUs, of course, they can spend lots of money on business
15 cases and very detailed financial analyses, and I don't know
16 the details of your engagement, are you going to try, as
17 part of the assessment process, to try to generate a
18 database or some kind of a master spreadsheet that helps
19 these MUNIs actually evaluate what are the pros and cons for
20 their particular circumstances?

21 MR. RUPP: We certainly intend - and it's in the
22 middle phase of our project, to - and it's really not -
23 there's not a lot of new science here - what we're talking
24 about doing is taking some of the work that's been done at
25 DOE, some of the work that I know you folks have been

1 involved in, and we've been involved in developing business
2 cases for, you know, utilities of all shapes and sizes, and
3 coming up with a platform, if you will, through which some
4 decisions can be tested to understand what are the
5 implications. I have to be very careful because there's not
6 enough time or money for us to go through and develop
7 business cases for 29 different utilities, but what we can
8 do is kind of come up with some rules of the game, if you
9 will, that reflect what the industry is doing in terms of
10 managing the risks associated with quantifying benefits that
11 are indeterminate at this point, so that they can hopefully
12 increase their confidence in understanding what to do with
13 the outcome of that analysis. Certainly, it is a part of
14 what we're doing.

15 MR. GRAVELY: Okay, any other questions? Thank you.

16 MR. RUPP: Thank you very much.

17 MR. GRAVELY: Our last speaker of the day here comes
18 from our friends in the Bay Area, and the PUC will talk
19 about the SB 17 and, of course, in the area of two major
20 objectives and policies, SB 17 is one, and AB 2514 on the
21 storage side are two that we've talked about in the last
22 workshop and this one. So I think, actually, Chris is
23 involved in both of those. You can answer questions if you
24 want.

25 MR. VILLAREAL: Good afternoon. I'm Chris Villareal

1 with the California Public Utilities Commission. Thanks to
2 Mr. Rupp's presentation, I now have 45 minutes and, as a
3 regulator, I intend to use all 45 minutes now to go over my
4 presentation, this is just the outline of what I anticipate
5 to talk about. I anticipate going through the first half of
6 my presentation relatively quickly because, on the PUC side
7 of the proceeding, we pretty much haven't done any - we
8 haven't issued any decisions since June of this year. And I
9 plan to talk more about what we plan to do in the next year.
10 So this is just a short history of our rulemaking, we
11 started it in December 2008, in response to the Energy
12 Independence Security Act passed by Congress in 2007. SB
13 17, which was sponsored by Senator Alex Padilla was signed
14 in October 2009, and then that gave us time to issue - to
15 address the discussion in SB 17. So, in response to ISO, we
16 issued a decision in December - all these years are running
17 together now - 2009 - so, ISO directed all State Commissions
18 to consider five new standards to PURPA. In the course of
19 our proceeding, we declined to adopt any of the standards
20 since we had adopted most of the suggestions in our AMI
21 roll-out. Instead, we went a little bit further than what
22 ISO had directed States to do, and we set three policy
23 goals. The first one is that all customers be provided
24 retail and wholesale electricity prices in a uniform manner
25 by 2010, that customers be allowed to access data with an

1 authorized third party by the end of 2010, and that
2 customers be provided near or real time access to their
3 usage information, those customers of AMI, by the end of
4 2011. So, while we were doing that, SB 17 was passed, and
5 I'm not going to go through this, this is what characterizes
6 a Smart Grid according to SB 17; what I will note is that
7 the words "cost-effective" are listed six times. So, the
8 Legislature is very direct in what we are supposed to
9 address on Smart Grid. So, SB 17 directed us to set the
10 requirements for the Smart Grid deployment plan to be filed
11 by the utilities, the investor-owned utilities. In our
12 proceeding, we ended up requiring eight topics, and they're
13 listed here, and I'm only going to talk about a couple of
14 these. We directed the utilities to have cost and benefit
15 estimates in their Deployment Plan. Now, for the costs, we
16 gave them two timelines. We directed the utilities to file
17 a five-year provisional cost estimate and a 10-year
18 conceptual cost estimate, understanding that, looking at the
19 future six years ahead, we can't accurately predict what the
20 costs are going to be because we don't know what the
21 technologies are going to look like, or the costs of
22 technologies. Similarly with benefits, we understood that
23 the benefits are going to be not necessarily problematic,
24 but very difficult to quantify. On the benefits, we also
25 allowed the utilities to justify - or not justify - to

1 describe unquantifiable benefits around reliability and
2 environmental benefits. The other thing we also added was a
3 requirement that the deployment plan address grid and cyber
4 security. The PUC is taking security very seriously and
5 wants to ensure that whatever is rolled out on Smart Grid is
6 secure, and by having it be part of the initial roll-out,
7 that in our mind helps ensure that security is built into
8 the product instead of being added at a later time. So, the
9 utility deployment plans are to be filed no later than July
10 1, 2011. We also anticipate having a joint workshop with
11 the CEC and the ISO in March or April where the utilities
12 will present their draft deployment plan, and that will be a
13 public workshop, so all parties and all members of the
14 public are invited to attend.

15 So, this is, I guess you could say, the PUC's vision
16 of the Smart Grid. This morning, you heard the utilities
17 provide their vision and, after we came back from lunch,
18 Mike Gravely pointed out that there was one thing that he
19 thought was missing, and that was a market. I was going to
20 say the same thing, is that the vision presented by the
21 utilities were missing the market aspect of it, and so, from
22 the PUC's perspective, we see a Smart Grid encompassing
23 three main areas, Smart utility, where their infrastructure
24 gets more upgraded and becomes smarter, the Smart customer,
25 who is enabled and is provided with information to take

1 control of their usage, and the market - so, the market is
2 where a lot of the innovation will take place. The market
3 can be applied to either the utility or the customer, but in
4 both instances, it has to be rolled into the Smart Grid.

5 So, this is just the short slide showing what are
6 the policy goals of the PUC's view of the Smart Grid.
7 Again, I don't think I really need to go over this, this is
8 following our June decision.

9 So, where are we going to go now? There are
10 actually five Next Steps that we anticipate taking on over
11 the next 12 months or so. So, Metrics. Metrics is one of
12 the things that is required to be in the utilities' baseline
13 come July 1. In our June decision, the PUC determined that
14 there was not enough of a record to come up with sufficient
15 metrics that would be helpful and informative to the PUC and
16 the parties, so we created a separate phase of our
17 proceeding to do that. PUC staff issued several proposals
18 over the course of a couple months, and we ended up holding
19 workshops and informal webinars to discuss further the
20 attempt to come up with consensus metrics. Over the course
21 of that phase, the utilities, working with staff and other
22 third parties, came up with a list of consensus and non-
23 consensus metrics. The consensus metrics cover areas
24 including customer AMI issues, plug-in electric vehicles,
25 electricity storage and grid operations. What needs to be

1 further discussed are other areas that we are interested in
2 around customer AMI grid operations, as well as further
3 discussions on how to quantify environmental benefits that
4 can be attributed to Smart Grid, and how to come up with
5 robust cyber security metrics. On cyber security, there was
6 a lot of concern about creating metrics before there are any
7 policies created. And so, we are going to engage with
8 utilities and with interested third parties on an informal
9 basis how to develop good and robust and useful cyber
10 security metrics. I imagine that there will be a similar
11 effort related to environmental discussion, as well. And we
12 expect to issue a proposed decision adopting interim
13 consensus metrics the first quarter of next year.

14 The next major issue is customer access to
15 information. So, as stated previously, one of the goals of
16 the Commission is to allow customers to choose who they want
17 to share their information with. So, then, we decided that
18 we needed more information, so we set up another phase, an
19 ongoing phase, actually, of our current proceeding to
20 address customer access issues. One of the questions to be
21 addressed is what is the PUC's jurisdiction over third
22 parties such as Google? The next slide will get into a
23 little more detail about that topic. So, as we worked
24 through our process on customer access to information, we
25 got a number of third parties who are all privacy advocates

1 and I'll admit that privacy was not something we anticipated
2 having to deal with in this phase, and as such, as part of
3 the customer access phase, we added a discussion about
4 privacy. While we were in the midst of doing our phase, the
5 Governor signed SB 1476. SB 1476 puts requirements on the
6 utilities on how they are to protect customer information.
7 So, we held a series of workshops, one of the privacy
8 advocates, the Center for Democracy in Technology, proposed
9 a framework where the utility would not need to get customer
10 approval if the purpose was something secondary to the
11 primary purpose of the usage requirement, so, energy
12 efficiency, for example. Energy efficiency - if a third
13 party is contracting with a utility and the primary
14 responsibility of that contract is through energy
15 efficiency, that third party facility would not need to get
16 customer approval to share that information. If that third
17 party contractor wanted to do something other than energy
18 efficiency, they would then need to get customer approval to
19 use that data. So, in the process, there are three types of
20 third parties that are going to be covered under the privacy
21 rules, one will be the third party obtaining that of the
22 utility backhaul, and this would be the example of Google,
23 where the customer signs up with Google and authorizes
24 Google to access their usage through the utility. The
25 second type of access is where the third party is obtaining

1 data directly via the Home Area Network, so it was just the
2 Home Area Network was activated and sending a signal
3 directly to the house, and the customer buys a piece of
4 technology, and is just reading the information off of the
5 meter. And the third third-party is the utility contractor
6 that most customers never see because it's just simply a
7 contract between the third party and the utility, and
8 whatever comes out of that process is stamped with the
9 utility's name on it. Of course, there are jurisdictional
10 concerns over our responsibility and enforcement over third
11 parties, and we expect to issue a proposed decision on this
12 topic in the first quarter of next year. On the topic of
13 cyber security, we've differentiated between the different
14 types of cyber security, there is cyber security of customer
15 data and the overall grid cyber security. The security
16 customer data is going to be rolled into the customer access
17 and privacy phase through national standards. On the cyber
18 security, we anticipate building off of the standards, the
19 guidelines issued by the NIST early this year, and we
20 anticipate starting a new phase, another phase of our Smart
21 Grid proceeding to address cyber security rules, policies,
22 protocols, whatever word is most appropriate for that, in
23 the first or second quarter of next year. While we are
24 doing that, the PUC staff anticipates working with the
25 utilities and interested third parties to become more up to

1 speed on what is going on in cyber security. The reason for
2 that is, the PUC generally has not been involved in cyber
3 security. Most cyber security is done on the transmission
4 level through NERC, and with little information and
5 technology being done on the distribution side, there has
6 been little need to do cyber security rules on the state
7 side. As Smart Grid rolls out, as more technology is
8 installed on the distribution side, and more technology is
9 installed in the customers' homes, that increases the risks
10 of cyber attacks. As states have jurisdiction over the
11 distribution grid, we anticipate creating and building rules
12 around that area.

13 And finally, we anticipate dealing with the issue
14 around the Home Area Networks. So, when the PUC approved
15 the utilities' AMI investments, they all included the Home
16 Area Network. The Home Area Networks was one of the main
17 drivers of the cost benefit analysis where the customer
18 would use the Home Area Network to do various demand
19 response and price response of taking advantage of prices.
20 The AMI that are rolled out by the utilities that have the
21 HAN on there, but it is not activated. The HAN is loaded
22 with ZigBee Smart Engine Profile 1.0 and the utilities, as
23 we've been told, are waiting for an upgrade to 1.0 to be
24 finalized before they will make an effort to turn on the
25 Home Area Network, thus made a date for 2.0 completion even

1 though, as stated earlier, it was some time in 2011, that is
2 just for the standard, and that does not take into account
3 the utilities system testing, and it does not take into
4 account the utilities testing of third party products. As
5 such, we don't anticipate the activation of the HAN until
6 2013 or 2014, at the earliest. So, in our proceeding we've
7 had third party vendors asking the PUC to have a phase to
8 address activating the HAN with the existing 1.0. I'll note
9 that the State of Texas, who is also facing a similar
10 problem, is in the process of activating all of the HANs
11 rolled out in the State of Texas with an updated version of
12 1.0 that they call 1.X. And 1.X addresses many of the
13 initial concerns about 1.0, around cyber security, and the
14 privacy questions that have been raised on 1.0, as pointed
15 out in the last bullet. In addition to security and
16 privacy, there are some stranded cost concerns about
17 customers potentially buying products that are not backwards
18 compatible, in other words, they buy something compatible
19 with 1.0, but it's not compatible to 2.0, and along with
20 that is the interoperability and upgrading devices. My
21 personal opinion is that, if we're looking at a two-year
22 process, and if California and Texas both end up activating
23 their 1.0/1.X, someone will figure out how to deal with the
24 backward compatibility question. That's my personal
25 opinion, no one else's. And that's all I have, and I look

1 forward to any questions that anyone may have.

2 COMMISSIONER WEISENMILLER: Thanks for your
3 participation today, it's really helped. I was sorry that
4 Commissioner Ryan wasn't able to be here, but I think you've
5 done a good job representing your agency.

6 MR. VILLAREAL: Thank you.

7 MR. GRAVELY: Questions related to Smart Grid?

8 MR. VILLAREAL: Well, before I leave, since I have
9 the mic, I'll point out that yesterday the PUC approved a
10 new OIR relating to storage, AB 2514 directs the PUC within
11 some amount of time to set policies around incentivizing
12 storage for the market and we are about a year and a half
13 ahead of the deadline, so we went ahead and opened up an
14 OIR. I believe the deadline for comments on the OIR is
15 January 21st, they're mainly supposed to be focused around a
16 white paper issued by the division that I work in, Policy
17 and Planning Division, so if anyone has any questions on
18 storage, I'll also be more than happy to try to answer them.

19 COMMISSIONER WEISENMILLER: That's very good. I
20 think Mike can make a similar announcement about responding
21 to that legislation.

22 MR. GRAVELY: Oh, I'll be glad to. So we have an
23 item on the Business Meeting next week for approval for some
24 research under U.C. where we are developing a vision for
25 storage in parallel with these for 2020 with the ultimate

1 goal of providing insight and information to your
2 rulemaking, looking at where storage could play with the
3 primary focus of the objective of 2514, but also looking at
4 mixtures of storage and values of storage and things like
5 that, so we are working actively with the PUC and the
6 industry to try - and you've heard through all three
7 presentations the importance of storage to California and
8 the importance of storage and the challenges that storage
9 faces, so we've stepped up there now. I think one side
10 point, also, besides Texas, we are also doing some research
11 on the customer acceptance of Home Area Network displays
12 through UC Berkeley, and Ron Hoffman is here if you have
13 questions about that, but we are doing some evaluations and
14 Chris is actively involved in that, too, but again, it's
15 strictly a research effort to look at the capabilities of
16 SEP 1.0 and the capabilities of existing systems to use that
17 and we're doing a small scale demonstration with several of
18 the utilities in California to help answer some of the
19 questions that are coming up about what is the capability of
20 the systems. So we do see quite a few of those. We will be
21 - some of you may have attended our November 16th workshop on
22 Storage. One of the commitments we made out of that
23 workshop prior workshop in the March-June timeframe was to
24 develop a white paper with kind of an assessment of the
25 state of technology, of storage technology to support

1 renewable integration and we will be providing that as part
2 of a discussion topic for the next IEPR workshop on storage
3 policy from there. So, questions for the PUC or for Chris?

4 COMMISSIONER WEISENMILLER: Yeah, I was just going
5 to make the obvious comment, too, that obviously both
6 agencies are moving in response to the Governor-Elect's
7 priorities for Storage, along with the legislation.

8 MR. GRAVELY: Well, as I anticipated, we are now at
9 a point for public comments, so we will give the opportunity
10 of the people in the room first to comment on any of the
11 discussions we have here today, and please come to the mic
12 if you have comments or questions, identify yourself, and
13 then we'll move forward and if we have any of those, we will
14 go online. Any questions from anybody in the room here for
15 any of the participants or any of the speakers that are
16 here?

17 MR. JOHNSON: Good afternoon. This is Walt
18 Johnson, I guess I would say I'm representing UCSD with this
19 question. I was struck particularly by the fact that, in
20 the ISO's presentation and the presentations about the IOUs
21 and POUs, no mention whatever was made of microgrids,
22 whereas the JPL presentation from industry had some
23 significant comments regarding microgrids, and I'm curious
24 if that reflects the fact that the other entities, the
25 utility and operation entities, don't see microgrids as

1 anything unique relative to what they're doing, or how they
2 - where in their road maps those things would fit, if they'd
3 been overlooked or they are in some sense there, but I just
4 didn't see it or hear it.

5 MR. GRAVELY: In general, I have to say that
6 certainly the IOUs are involved in microgrids because we
7 have both DOE and PIER funded projects right now to do field
8 demonstrations on microgrid. I would tell you, my personal
9 belief is the value of two different perspectives, I think
10 this is one of the examples where I think the commercial
11 perspective sees - it's probably easier and faster for
12 commercial growth through a microgrid than it is to do a
13 utility grid, and so, potentially the reason is, and I'll
14 let David answer that question better than me, but I think
15 one of the reasons from our personal research is the fact
16 that there is a lot of interest and opportunity today in
17 microgrids for new technologies to be demonstrated at a
18 smaller scale and a much more cost-effective scale, so the
19 commercial market is far more attuned to microgrids than
20 they are at trying to convince PG&E to put something on
21 their whole grid. Maybe you want to address that, David?

22 MR. TRALLI: David Tralli, JPL. I think what you
23 just mentioned, Mike, was one of the key points, that the
24 microgrids afford the ability to go out there and
25 demonstrate things at some scale right now, of course, with

1 eventual scale up targets. I know with the fuel cell stuff,
2 there is a demonstration project somewhere in Southern
3 California and the interest there is to now move up to a
4 commercial scale 10 megawatt-type system, and so growing it
5 that way. There are some other advantages that came up that
6 we will have documented in the report, but that one, in
7 terms of demonstrating early on what some of the
8 capabilities and issues are to resolve on key technologies
9 is one of the key ones, from a market development
10 perspective.

11 MR. GRAVELY: I will point out just for the
12 audience, in case you are unaware, that two of the largest
13 microgrids that we're involved with right now, of course,
14 are at University of California at San Diego is doing one on
15 their campus, and the San Diego Gas & Electric has been
16 doing one for many years with the DOE funding and PIER
17 funding, so both of those are what I would say community
18 scale, or larger. So, there is quite a bit of work being
19 done. It may be the fact that the information is at a level
20 that's in the report, but not in the presentation also.
21 Other questions?

22 MS. CHUANG: We do have microgrids in our report, it
23 appeared on a list of objectives under the subcategory of
24 maintain and/or enhance the system reliability. We had the
25 provide for microgrid operation as objectively considered

1 for use of Smart Grid. There are also many projects
2 mentioned and, in particular, the Appendix of the report,
3 that the utilities are involved in. Perhaps these utilities
4 want to talk about some of those projects, but it's true, we
5 didn't have microgrids in the top or the high priority, but
6 that was the result of the ranking exercise.

7 MR. STACK: Hello, this is J.D. Stack with the
8 California Smart Grid Center. And, Mike, I've got a
9 question for you. We've seen several different views today,
10 perspectives on Road Map to Smart Grid. I heard one of the
11 speakers, I think it was David, mentioned this is a suite of
12 road maps. Can you articulate your vision of how these are
13 going to be used going down the road? Is there going to be
14 an assimilation of these, or do you see them kind of in a
15 suite that people can work from?

16 MR. GRAVELY: The plan when we originally did this
17 was, from the research side, and our schedules were set so
18 that we could do this as part of the 2011 IEPR, and we still
19 hope to do that, is to put together the three of them
20 together and come up with the general consensus and us put
21 together the different data we get plus comments that come
22 from people outside the three contracts, and try to
23 integrate that into a state vision, and I would envision
24 that, if we are fortunate enough, to work it to be part of
25 and published in the IEPR for 2011 in the summer timeframe.

1 If we're able to, there will be another Smart Grid workshop
2 in the March, April, May timeframe if we're able to get
3 enough from all three vendors to do that. One of the
4 challenges that Pedro has in his office in Systems
5 Integration is to actually learn from all these different
6 efforts, but the original plan has always been to take these
7 three diverse perspectives, see where the parallels are, and
8 see where the differences are, and try to come up with what
9 we consider is a single vision for the State that could then
10 go into the IEPR, and potentially into some of the other
11 State documents as we go forward.

12 MS. MANZ: I'm Laura Manz and I'm here on behalf of
13 Viridity Energy, who is the vendor doing the UCSD microgrid,
14 and I just wanted to pick up a thread here, that our V Power
15 system works with the pallet and power flow so that we can
16 start bringing markets and economics together, so I don't
17 want to let that kind of fall by the table, it didn't come
18 up so much today, and I think it's probably ripe in the
19 future for further discussion, and we look forward to that
20 opportunity. So, thank you.

21 MR. GRAVELY: And we'll take that comment you have
22 before about it not coming up today, so I will encourage
23 everyone online and everyone here, the comment period ends
24 January 7th, please provide us your comments, your
25 recommendations of what you liked or didn't like, things

1 that were missed, technology - and this is a technology
2 assessment, so if you have things that weren't discussed and
3 you'd like our staff to be aware of, please feel free to
4 docket those. We would prefer you send everything to the
5 docket, the information - it's on the message that we have
6 on the Internet and the message here gives you the address
7 of where to send it, but we would like that information
8 available, it allows us to incorporate that information in
9 our overall assessment. It gives us a Litmus test of
10 whether or not, as you hear all these presentations, if
11 we're on the mark or off mark. So, I would encourage people
12 to take the time to provide that feedback officially through
13 the docket, so it becomes part of the 2011 IEPR drafting
14 process, and so we would encourage everyone to do that.
15 David, you had a comment?

16 MR. TRALLI: Dave Tralli, JPL, I had a comment on
17 the question before last, to clarify my comment on the suite
18 of road maps. I would think that the three different
19 studies, the road maps that they recommend, obviously, like
20 Angela mentioned, are the result of the discussions within
21 the perspectives of their team and the prioritizations that
22 came out of those teams. If we look to integrate all three
23 perspective road maps for the 2011 IEPR, we need to make
24 sure that we have something in common across which to bring
25 those three perspectives. And I'm just trying to iterate

1 what I mentioned in my talk, which was, if you have the
2 traceability to the IEPR requirements, and if we had that,
3 if we can do that, or represent the three perspectives in
4 that manner, I think that would make the integration
5 somewhat easier to do because, otherwise, you know, you're
6 putting together three perspectives that are responding to
7 three different ways of prioritizing, three different sets
8 of objectives, and that's going to be extremely hard to pull
9 that stuff together. Now, on the suite, I think there is a
10 single maybe road map, or not, I mean, we're still
11 struggling with this, I still am, the road map that gets you
12 to 2020. We're going to look at two or three architectural
13 options because that's the resources we have to do, but in
14 order to pick your preferred road map, we have to optimize
15 across something, and we have to optimize across the trade
16 space, meeting the objectives, technical performance, cost
17 if we can get it, of functionality, ratepayer benefits, all
18 that. And so, we have to offer our view of what that
19 optimization was, and that optimization might be different
20 in the three different perspectives, which is another
21 complexity in integrating the road maps. So, I think that
22 is going to be really exciting, you know, there is a lot of
23 common threads between our study and EPRI's, and I'm sure
24 the POU ones will have common ones there, and then the
25 integration will be really a good thing to do.

1 MR. GRAVELY: I have to admit, this was a challenge
2 that was consciously created. We talked about this when we
3 did the initial request, and we did not want to provide so
4 much detail as to steer the road map a certain direction, we
5 wanted the policy to be considered, we wanted creative
6 approaches, we wanted diverse solutions, we did not want to
7 - and I think the example I get here is, in fact, the IOUs
8 have provided information that is very consistent with what
9 they're doing and what they've talked about, I think, on the
10 commercial side, as I'd mentioned earlier, I think one of
11 the opportunities, the reason microgrids are mentioned so
12 much, is it provides more commercial demonstration
13 capability and more commercial growth, more commercial
14 transition capability, and I think, when we get to the POU
15 work, when they've got to marry the challenges of small
16 utilities, medium utilities, large utilities, multiple
17 utilities in one agency, and so I was afraid, consciously,
18 when we provided a Government direction, sometimes
19 Government directions can have a negative outcome, and we
20 did not want to stifle creativity, stifle solution, by
21 giving "this is the format you have to fit." So it makes
22 our job a little more challenging to integrate these, but
23 it's easier to have three defined products to integrate than
24 it is to tell three people where to go for a 10-year vision,
25 and not make a mistake. So, we - and Pedro gets to benefit

1 from that creativity. His office will be the one to help
2 integrate that, and we envision sharing that with the
3 public, but I do think, and just so you know, we consciously
4 anticipated three diverse approaches and it looks like we're
5 getting three diverse approaches, which I think is a good
6 sound. Anybody else with questions? Anybody on line have
7 questions? It appears nobody has questions online.

8 Okay, so I'll cover the next steps here with
9 everybody. This is a series of two workshops that we have
10 done, primarily the PIER program, one on Storage, one on
11 Smart Grid, we will take the information we have here and
12 come up with information that will be kind of a technology
13 baseline, that we will provide to the IEPR Committee, and
14 whether we end up doing a white paper here, or whether we
15 end up just integrating the road maps into a single road map
16 is yet to be determined, but we are planning on a workshop
17 in about five months, four to five months, that would talk
18 about how this technology rolls into the policy and if there
19 are policy questions and policy recommendations that we can
20 do that as part of the IEPR for 2011, we want to do that in
21 the future. So, I again would like to encourage people
22 online and people here to provide comments to the docket,
23 provide information to us, and if you have questions as to
24 what you would like to see, but the ultimate goal for us is
25 to try and come up with information in the 2011 IEPR to help

1 understand where Smart Grid is going and where it should go,
2 and if there are specific gaps that need to be addressed, if
3 there are specific policy issues that are creating
4 challenges, or if there are specific areas - I use the
5 analogy of storage - one of the areas that comes up, that
6 you hear a lot, is creating tariffs and creating incentives
7 that will make storage meet the needs of the future. In
8 Smart Grid, it may be more an area of how we work with the
9 PUC, how the public utilities plan their development and
10 paperwork for SB 17 in those areas, but we're trying to
11 integrate everything we've got and to the best knowledge we
12 can. Our ultimate goal through this IEPR process is to
13 share what we're learning and put that in terms of some
14 semblance of direction, but ultimately it'll be up to the
15 IEPR Committee, who hears a lot more of this than I have a
16 chance to, to put this into a perspective of a report. And
17 for those that aren't familiar, the IEPR will be drafted
18 over the summer, the draft comment is available in the fall,
19 it's published around the December timeframe, so we'll be
20 gathering data for the next six to seven months, and then
21 there is a public workshop when they provide all the
22 elements of that. But our office will be focusing on the
23 technology and the Smart Grid.

24 COMMISSIONER WEISENMILLER: I'd certainly like to
25 thank everyone today for their contributions. I think we've

1 had a very interesting session. We have three interesting
2 products, certainly those will be the basis for our
3 thinking, but, again, I think one has to be clear on a
4 couple of things. The first is that we are working together
5 with the ISO and the PUC under the framework of the Clean
6 Tech Vision, which we're marching forward on, and so, as we
7 go forward, we will be jointly working through that,
8 certainly PUC will have much more formal proceedings, and
9 this is something for people to throw out ideas, much more
10 of a scoping session, but we certainly anticipate the
11 agencies to be working pretty much hand in glove on this.
12 And second is that we are certainly going to be very focused
13 in this IEPR on implementing the vision of the new Governor
14 and his direction, as we will really have a plan in place by
15 July, dealing with renewable issues for both DG and utility
16 scale. And so there's going to be a lot of focus on the DG
17 component, and it's going to be a pretty serious - I was
18 going to say almost a forced march - between now and that
19 time. And certainly this will be a part of it, but again,
20 ultimately we're the deciders and so, again, thanks for your
21 contributions and we will certainly take your input, but it
22 is certainly the consultants are not going to drive the
23 process is the bottom line. Thanks again.

24 MR. GRAVELY: Thank you all very much.

25 [Adjourned at 2:42 P.M.]