

DOCKETED	
Docket Number:	25-IEPR-03
Project Title:	Electricity and Gas Demand Forecast
TN #:	268806
Document Title:	Transcript - IEPR COMMISSIONER WORKSHOP ON IEPR COMMISSIONER WORKSHOP ON ENERGY DEMAND FORECAST DRAFT RESULTS
Description:	<p>IEPR COMMISSIONER WORKSHOP ON IEPR COMMISSIONER WORKSHOP ON ENERGY DEMAND FORECAST DRAFT RESULTS REMOTE VIA ZOOM</p> <p>WEDNESDAY, DECEMBER 17, 2025</p> <p>9:00 A.M.</p>
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Energy Commission
Submission Date:	2/25/2026 11:36:02 AM
Docketed Date:	2/25/2026

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of:

2025 Integrated Energy Policy)
Report (2025 IEPR)) Docket No. 25-IEPR-03
)
Re: Electricity and Gas Demand)
Forecast)
_____)

IEPR COMMISSIONER WORKSHOP ON
ENERGY DEMAND FORECAST DRAFT RESULTS

REMOTE VIA ZOOM

WEDNESDAY, DECEMBER 17, 2025

9:00 A.M.

Reported by:
Elise Hicks

APPEARANCES

COMMISSIONERS

Siva Gunda, Vice Chair, CEC

J. Andrew McAllister, Commissioner, CEC

Darcie Houck, Commissioner, CPUC

Mathew Baker, Commissioner, CPUC

Karen Douglas, Commissioner, CPUC

CEC STAFF

Heather Raitt, IEPR Program Manager

Heidi Javanbakht, Demand Analysis Branch Manager

Asish Gautam, Electric Gen System Program Specialist

Mathew Cooper, Energy System Planning Coordinator

Quentin Gee, Manager, Energy Assessments Division, Advanced
Electrification Analysis Branch

Lynn Marshall, Electric Gen System Program Specialist

Nick Fugate, Lead Analyst

PUBLIC COMMENT

Andrew Mills, California Community Choice Association

Claire Huang, Ava Community Energy

Josh Harmon, PG&E

INDEX

	<u>PAGE</u>
Welcome Heather Raitt, CEC	4
Opening Remarks Siva Gunda, Vice Chair, CEC J. Andrew McAllister, Commissioner, CEC Alice Reynolds, President, CPUC Mathew Baker, Commissioner, CPUC Darcie Houck, Commissioner, CPUC Karen Douglas, Commissioner, CPUC	5
1. 2025 IEPR Forecast Overview Heidi Javanbakht, CEC	13
2. Draft Annual Electricity and Gas Forecast Results Mathew Cooper, CEC	55
Discussion between Commissioners and presenters	71
Q&A from attendees, moderated by Sheila Rosenberg, CEC	--
3. Draft Hourly Forecast Results Nick Fugate, CEC	91
Discussion between Commissioners and presenters	112
Q&A from attendees, moderated by Sheila Rosenberg, CEC	--
Public Comments	122
Closing Remarks	127
Adjournment	131

1 please note that we will not be able to respond to comments
2 today at the end of the day. And the comments are limited
3 to three minutes per person with one person per
4 organization, please.

5 And written comments are welcome. And the
6 instructions for how to do that are on the workshop notice.
7 And we are requesting that you submit your written comments
8 by 5:00 p.m. on December 31st.

9 So with that, I'll turn it over to Vice Chair
10 Gunda for opening remarks. Thank you.

11 VICE CHAIR GUNDA: Thank you so much, Heather,
12 and welcome, everybody, to the workshop today.

13 I just want to begin by acknowledging fellow
14 Commissioners from PUC and CEC today on the dais. In our
15 tradition this year, we have two participants, two
16 Commissioners fully present and one Commissioner from PUC
17 that's listening right now. So three-two, and they win
18 again. So PUC has been winning all year on the presence.

19 So I want to thank Heather, Denise, and the
20 entire IEPR Team and today's presenters from CEC, Heidi
21 Javanbakht, Matt Cooper, and Nick Fugate. The entire
22 Forecasting Team has contributed to this work that is going
23 to be shown today, and then comments will be taken, so just
24 want a big thanks to the entire Forecasting Team at CEC.

25 But also want to recognize CAISO, PUC, and CARB,

1 utilities and other stakeholders who have provided critical
2 feedback throughout the year. There is a lot of changes
3 that have been happening, federal policy uncertainties,
4 policies around electrification, and a number of
5 uncertainties had to be really thought through. And then
6 staff had to work across agencies to make sure we have a
7 credible forecast. So just want to thank all the agencies
8 and utilities and stakeholders who helped us this year.

9 California's energy planning efforts depend on
10 strong coordination. And as Commissioner McAllister always
11 says, you know, the forecasting is a core responsibility
12 for the CEC and really starts the overall planning process
13 and underpins that.

14 As most of you know, there is a single forecast
15 agreement between CEC, PUC, and CAISO, and it's central to
16 the effort around planning, whether it's distribution,
17 transmission planning, RA, or IRP. So the forecast flows
18 into a lot of different things and the uncertainty impacts
19 them differently. And so it's important for us to think
20 through what forecast is used for what purpose.

21 Again, truly appreciate CPUC and CAISO staff who
22 work on a continued partnership through staff-level
23 coordination called the Joint Agency Steering Committee,
24 and their work is invaluable in steering this overall work.

25 I want to observe two things. You know, since

1 the last forecast, we really had to think through how to
2 start putting in the data center load into the forecast.
3 So that has been a big improvement last year. And, you
4 know, the utilities were instrumental in providing that
5 information. And we continue to make progress on that.
6 And this year, informed by the CPUC's High DER proceeding
7 and efforts to improve distribution planning, the team is
8 collaborating with PUC and utilities to better capture what
9 is called known loads, and we're going to discuss that
10 today. I want to thank Commissioner Houck and her office
11 for the coordination, and the President Reynold's office as
12 well.

13 And so overall, I think there's a lot of
14 uncertainty, and this uncertainty plays in a variety of
15 different ways as we move into the planning over the next
16 15, 20 years. So I really look forward to the comments
17 and, you know, thinking about how best to structure the
18 forecast as we move forward.

19 With that, I'll, you know, request Commissioner
20 McAllister if he has any comments.

21 COMMISSIONER MCALLISTER: Yeah, great. Thanks,
22 Vice Chair. I really appreciate those framing comments.

23 And first of all, I want to thank Heather and the
24 team for putting together all the workshops leading up to
25 today, but including today, obviously, and just amazing

1 professionalism on the IEPR Team. This is, you know, as
2 Vice Chair said, a core responsibility of the Energy
3 Commission.

4 And so, you know, in 2025, the odd year, usually
5 there would be sort of methodological improvements and the
6 like, you know, on the normal. This year, I think, as Vice
7 Chair said, we focused more on trying to understand the
8 uncertainty rather than sort of tweaking methodologies in a
9 fundamental way, really just layering in some of those deep
10 dives on where significant uncertainty is around data
11 centers and unknown loads. And just want to reiterate the
12 thanks to the utilities and all the stakeholders for
13 helping get hands around that, get arms around those
14 discussions.

15 I don't want to repeat too much what Vice Chair
16 Gunda said. I'll really toot you on point. I guess I
17 would just say, you know, we often forget, I think, in
18 California, how unique this process is. Other state energy
19 offices and even PUCs and public service Commissioners, you
20 know, across the country, when they find out sort of the
21 depth of our work and knowledge and expertise and
22 analytical capacity and data collection authority, it kind
23 of blows their minds. You know, the vast majority of
24 states depend almost entirely on the utilities themselves
25 to present forecasts for their territories and often have

1 very little ability to look over the utility shoulders and
2 sort of dig into the analyses and understand whether they
3 agree, right, with the approach that the utilities have
4 taken.

5 And I think it's really something special in
6 California that we're able to take the leadership position
7 and develop, you know, the forecast, relatively from
8 scratch every time, and then triangulate extensively with
9 utilities and others to make sure that it's credible and
10 that it is capturing all of the elements, including the
11 uncertainty that's emerging today. So I think having that,
12 this brain trust at the Commission and across into the PUC
13 and the Cal ISO really does strengthen our planning and
14 create a solid foundation for understanding where load is
15 going and how to respond to some of the trends. And so I
16 think as a policy matter, this is just really foundational
17 to California's approach.

18 So I really just appreciate all the expertise.
19 Certainly we'll hear from Heidi and Mathew and Nick today,
20 but a huge team, huge, you know, brain trust in the
21 Commission behind all of this work that we'll hear about
22 today.

23 So thanks to Commissioners Houck and Baker and
24 Douglas for being with us. You know, I try to represent,
25 but we can only be one person; right, Vice Chair? So we're

1 stalwarts here. But really I think it highlights just the
2 collaboration and the partnership with the PUC and the
3 importance and the gravitas that we place on the forecast.

4 So with that, I'll wrap up and pass to
5 Commissioner Houck for any opening comments you might want
6 to make or --

7 VICE CHAIR GUNDA: Yeah, Commissioner Houck --

8 COMMISSIONER MCALLISTER: Yeah.

9 VICE CHAIR GUNDA: -- you're muted.

10 COMMISSIONER HOUCK: Can you hear me right now?

11 COMMISSIONER MCALLISTER: Oh, there you go.

12 VICE CHAIR GUNDA: Yeah, we can hear you.

13 COMMISSIONER MCALLISTER: Great.

14 COMMISSIONER HOUCK: Thanks, Commissioner
15 McAllister and Vice Chair Gunda. I want to thank the
16 Energy Commission, your IEPR staff for continuing to do
17 such an excellent job on the workshops and the IEPR.

18 This forecast, as both of you said, is really a
19 critical function to our planning process here in
20 California. And we've been working collaboratively with
21 your offices, particularly as Vice Chair Gunda said, on our
22 High DER proceeding with the planning process here for
23 looking at the demand forecast, which really is important.
24 And we've been talking about things like pending loads and
25 scenario planning and what does that mean and how does it

1 fit in.

2 We have two resolutions on our voting meeting
3 tomorrow addressing both of those issues. And we've been
4 able to work collaboratively with your staff and working
5 through these issues and are looking forward to continuing
6 to do that. The resolutions, you know, have not been
7 adopted yet, but they do recognize that we may need to make
8 adjustments and we need to be staying in close coordination
9 with the CEC.

10 So I'm looking forward to hearing the
11 presentations today, to continuing this work and making
12 sure that we have a grid that's going to be able to meet
13 the needs of the 21st century.

14 And with that, I'll hand it off to Commissioner
15 Baker.

16 COMMISSIONER BAKER: Thank you, Commissioner
17 Houck. I'm excited to see load growth in the electric
18 forecast. I don't know if everyone has seen the recent
19 LBNL report that really highlighted the states that had
20 some of the highest load growth had some of the lowest
21 growth in electricity prices. And that makes sense. You
22 know, if you can bring down electricity by selling more of
23 it and spreading those fixed costs over more electrons,
24 that can help end users. As Commissioner Houck said, our
25 job at the Public Utility Commission is to design just and

1 reasonable rates to facilitate this kind of beneficial load
2 growth.

3 I would be remiss, though, if I didn't mention
4 one of the major impediments to, you know, to achieving
5 this kind of beneficial load growth right now, and that's
6 our wildfire crisis. Wildfire is a major driver of cost
7 increases, reliability concerns, and it competes with other
8 critical utility functions such as energization. All
9 stakeholders have an interest in helping the state to
10 address this issue in a comprehensive, equitable manner to
11 reduce the burden on the electricity system. If we're able
12 to do so, we can speed energization, advance our climate
13 goals, and reduce costs.

14 With that, I won't repeat what everyone else
15 said. I am very excited to look at the future with you all
16 today, and I want to thank the Energy Commission for
17 inviting me here to participate.

18 VICE CHAIR GUNDA: Thank you so much,
19 Commissioner Baker.

20 I know Commissioner Douglas is in a listening
21 mode right now. So with that, I will pass it back to you,
22 Heather, to get us started.

23 MS. RAITT: Great. So, thanks. So our first
24 speaker is Heidi Javanbakht.

25 So go ahead, Heidi.

1 MS. JAVANBAKHT: All right. Good morning.
2 Thanks, everyone, for being here today. Thank you,
3 Commissioners and everyone on the dais. So, I'm Heidi
4 Javanbakht. I'm the Manager of our Demand Analysis Branch.

5 And I also just wanted to take a moment to add
6 thanks to the Forecasting Team. So at these workshops, you
7 just hear from a handful of staff, and today, there's
8 really just three of us representing the Forecasting Team.
9 But behind the scenes, we have a really large and dedicated
10 team of about 40 people that work on various components of
11 the forecast. And it's really a lot of work to pull this
12 together every year, and it's work that's gotten a lot more
13 complicated with, you know, incorporating the strategies to
14 meet the state's climate goals and digging into the
15 uncertainty around the pace and impacts of electrification
16 and this year around what the impacts of the federal
17 changes to incentives are.

18 So I just want to echo the appreciation for this
19 team, acknowledge that this has been and will continue to
20 be challenging work, and just show my gratitude for the
21 teams being flexible, considering alternative solutions,
22 taking on new work, like the known loads, and just for
23 being great teammates.

24 So I wanted in particular to give a shout out to
25 a few of our technical leads. So Nick Fugate, Lynn

1 Marshall, Chris Kavalec, Asish Gautam, Mathew Cooper, Anne
2 Fisher, Alex Lonsdale, Jeremy Smith, Quentin Gee, Andre
3 Freeman, Nick Janusch, Ingrid Neumann, Ethan Cooper, thank
4 you to all of you and to everyone else on the team for all
5 of your hard work this year. Still more to go, but this
6 workshop today is a big milestone for us.

7 Okay, so with that, let's dive in. I'm going to
8 start us off with an overview of the CEC's Energy Demand
9 Forecast, just for those of you who may be new to this
10 process.

11 So next slide, please.

12 Okay, so why does the CEC forecast energy demand?
13 In 1974, the Warren-Alquist Act established the Energy
14 Commission to respond to the state's unsustainable growth
15 in demand for energy. And as part of this Act, Public
16 Resources Code 25301(a) requires that the Energy Commission
17 conduct assessments and forecasts of energy demand.

18 Next slide.

19 The Energy Demand Forecast, which is also often
20 referred to as the IEPR Forecast, is foundational to
21 procurement and system planning in the state. It is used
22 by CPUC and the utilities for resource adequacy
23 requirements, and it's an input to the determination of the
24 planning reserve margin. It's used by the CPUC for
25 integrated resource planning, which drives procurement.

1 And it's used by both CPUC and CEC for system reliability
2 assessments. The California ISO also uses the CEC forecast
3 for transmission system planning. And the forecast is used
4 by the investor-owned utilities for distribution system
5 planning.

6 The next slide.

7 The forecast is a 15-year forecast of electricity
8 and gas demand in the state, and we project annual
9 electricity and gas demand and hourly electricity loads.
10 The forecast includes scenarios reflecting various levels
11 of adoption of behind-the-meter PV and storage, energy
12 efficiency, building electrification and transportation
13 electrification, and also data centers. And the forecast
14 also includes the one-in-X-year net electricity peak demand
15 estimates.

16 We update the Electricity Forecast annually with
17 a comprehensive update in the odd years, and the Gas
18 Forecast is updated every two years in the odd years. The
19 final results are posted each January.

20 On the Integrated Energy Policy Report, the IEPR
21 report includes a forecast chapter and documents the single
22 forecast set agreement between the agencies and the ISO and
23 lays out which set of scenarios is used for each
24 electricity system planning purpose.

25 Next slide, please.

1 So on the next few slides, I'm going to walk
2 through the forecast model system just at a very high
3 level.

4 Next slide, please.

5 We produce a system-level forecast, and our
6 forecast is for eight electricity planning areas. This
7 includes the three IOUs, Northern California non-CAISO,
8 which we refer to as NCNC, LADWP, Imperial Irrigation
9 District, Burbank/Glendale, and Valley Electric
10 Association.

11 Next slide.

12 The common level of geographic granularity across
13 all of our forecast models is the forecast zone, and these
14 are based on planning area boundaries in addition to
15 climate. I'll note that these zones are different than the
16 climate zones used for energy codes and standards.

17 Next slide.

18 And I also wanted to just quickly touch based on
19 forecast terminology. We forecast total consumption, so
20 this is before PV or load modifiers are taken into account.
21 And by load modifiers, I mean energy efficiency
22 specifically here. And then when we layer on the behind-
23 the-meter distributed generation impacts, this brings us to
24 the baseline sales. After that, we layer on the impacts of
25 additional achievable scenarios for energy efficiency, fuel

1 substitution, and transportation electrification, and that
2 brings us to the managed sales.

3 Next slide.

4 The starting point for the models is the
5 historical electricity and gas sales data reported by the
6 utilities. We add this to our estimates of the historical
7 behind-the-meter distributed generation to estimate
8 historical electricity and gas consumption. And then the
9 historical consumption is an input to the sector models.

10 Next slide.

11 Economic and demographic projections from Moody's
12 and the Department of Finance are inputs to the models as
13 well as forecasts of electricity rates and gas prices.

14 Next slide.

15 Committed energy programs, codes and standards
16 are taken into account, and we also account for the Title
17 24 mandates for PV and storage for new construction.

18 Next slide.

19 Additional achievable scenarios are developed for
20 energy efficiency, fuel substitution, and transportation
21 electrification. Currently, we are only looking at fuel
22 substitution for the residential and commercial sectors,
23 but soon we will also be including the industrial and ag
24 sectors in the fuel substitution scenarios.

25 Next slide.

1 The load modifiers in the orange boxes are
2 combined with baseline consumption to create the managed
3 annual sales forecast scenarios.

4 And next slide.

5 The last step is to produce the hourly
6 electricity forecast from which we can extract the net peak
7 demand, and then from here we also estimate the one in X
8 year net peak demand.

9 Next slide.

10 Okay, so next, I wanted to talk about the status
11 of the 2025 IEPR Forecast because we are in a bit of a
12 unique situation today coming into this workshop.

13 So next slide.

14 We received a number of comments after the
15 November workshop on the draft load modifier forecast
16 results. Some comments were submitted to the docket.
17 Others reached out to us directly, and some combination of
18 both. So thank you to everyone who has submitted comments.
19 Your review and feedback on our forecast assumptions and
20 results are really critical to our forecast process and
21 helps us improve our forecast. I'm going to go over some
22 of the common themes, so this isn't a comprehensive list.

23 First, we've received requests to include new
24 types of resources in the forecast as load modifiers. This
25 ranges from distribution level front-of-the-meter

1 resources, such as community solar and storage, to load
2 shifting or load flex types of resources. And we continue
3 to talk about this with our leadership and with the other
4 agencies. We agree that these resources could play a role
5 in meeting the state's climate goals. However, we do need
6 more time to think through the challenges, and we are
7 thinking about holding a workshop on this topic next year.

8 The next topic area here is behind-the-meter PV
9 and storage. We received feedback that our PV and storage
10 projections may be too low, with one reason being that the
11 market is shifting towards a third-party ownership model in
12 light of the federal tax incentives going away or being
13 phased out. However, without data, it is difficult for us
14 to make or justify any changes to this component of the
15 forecast. We'll continue to monitor this and consider
16 updates to next year's forecast.

17 Data centers continue to be an important topic,
18 as this is one of the top load growth areas in the state.
19 We received suggestions to update the confidence levels,
20 and we are in the process of analyzing updated data from
21 the utilities that could potentially justify changes here.
22 So in particular, there were comments around the confidence
23 level used in the planning forecast for the Group 1
24 projects, which are the projects with interconnection
25 agreements. Right now, we're using a confidence level of

1 70 percent, and there's suggestion that that may be too low
2 and that we should increase that, because once they've got
3 an interconnection agreement, those loads are -- there's a
4 lot more confidence in them.

5 So at this stage of the forecast, we are mindful
6 about making any big changes, though, like I said, we just
7 recently received updated data from each of the utilities
8 on data centers, and we'll be updating the data center
9 forecast to reflect these new data sets. And Mathew will
10 give an update on this during his presentation.

11 The next bullet here is around the uncertainty
12 with California's electrification strategies due to the
13 shift in federal policy. I'm going to come back to this
14 one on the next slide.

15 And the last bullet here is about the known
16 loads. We've had a lot of discussion over the last few
17 weeks about known loads. The known loads are the utility
18 energization applications. And I'm going to be spending
19 quite a bit of time talking through this topic in a couple
20 slides, so keep those both in mind.

21 But before we move on, I want to pause here and
22 say thank you to everyone who has contributed and given us
23 feedback on the forecast this year. Big thanks to CPUC and
24 CARB and CAISO, Cal-CCA, the IOUs for your collaboration
25 and feedback and review of our forecast this year. In

1 particular, I want to thank: Cristy Sanada, Amber Motley,
2 Jeff Billington at the ISO; Matt Coldwell, Nathan Barcic,
3 Donald Brooks, David Miller, Paul Nelson, Jaime Rose
4 Gannon, Brendan Burns, Gabe Petlin, Tyler Nam, Markanday
5 Ravi, Jean Spencer, and Eileen Hlavka at the CPUC; Sam
6 Lerman, Melanie Zauscher, Kathy Jaw, Pamela Gupta, Maureen
7 Hand, Stephanie Kato, and Natalie Lee at CARB.

8 And I also want to give a shout out Silicon
9 Valley Power, Palo Alto, City of Burbank, PG&E, SCE, and
10 SDG&E for all of the data center information that they
11 shared with us this year on this area in particular
12 continues to be a group effort.

13 And then I also wanted to say thank you to the
14 transmission and distribution planning teams at the IOUs
15 for their assistance with the known load component of the
16 forecast for sharing these data with us and just for
17 meeting with us to talk about this data set and help us
18 with interpreting it. We've had a lot of questions for the
19 IOUs about these data and continue to work with them to
20 work through these questions.

21 And in particular, I'd like to thank Jon Bradshaw
22 at PG&E for all of his help with connecting us to the right
23 teams over at PG&E to answer our questions throughout the
24 year, both on data centers and on the known loads.

25 Okay, so next slide.

1 Looping back to the last two topics on the
2 previous slide are the strategies to reach the state's
3 climate goals and the utility known loads. Both of these
4 are relevant to the discussion around the forecast
5 framework and the combination of scenarios to use in the
6 planning forecast and the local reliability scenario.

7 So the planning forecast is used for resource
8 procurement and for transmission planning. The local
9 reliability scenario is used for local studies for
10 transmission planning, and it's also the starting point for
11 distribution planning. The local reliability scenario is
12 higher than the planning forecast to account for increased
13 uncertainty in more geographic, more granular geographic
14 regions. The makeup of these scenarios is determined each
15 year with leadership at CEC, CPUC, CAISO, and CARB, and we
16 document the combination of scenarios for these two
17 forecasts in the final IEPR report under the section called
18 the Single Forecast Set.

19 So for the most part, this table is the same as
20 last year with the exception of the known loads, AAFS,
21 additional achievable fuel substitution, and AATE, which is
22 additional achievable transportation electrification, and
23 these are the rows in the table with the reddish orange
24 text.

25 And before I dig into those, I also wanted to

1 highlight that in more recent years, we have had two
2 different baselines for the planning forecast and the local
3 reliability scenario, and that's because the behind-the-
4 meter PV and storage, the data centers, and the known loads
5 are included in the baseline, and different scenarios are
6 being used for those for the planning and for local
7 reliability.

8 Okay, so I'm going to start at the bottom of the
9 table and talk about AAFS and AATE and those scenarios
10 first. So traditionally, we have used Scenario 3 for
11 planning and Scenario 4 for local reliability. This year,
12 we've dropped down to Scenario 2 for planning and Scenario
13 3 for local reliability. This change is due to several
14 factors. The first is that the federal incentives for
15 transportation and building electrification have been
16 eliminated, and then also transportation electrification
17 has faced federal regulatory changes as well as federal
18 actions that impinge on California's longstanding ability
19 to regulate vehicle standards granted by the Clean Air Act.

20 On building electrification, CARB has delayed
21 public deliberation on regulatory concepts and has recently
22 begun alternative approaches to a 100 percent new sales
23 requirement for zero-emission space and water heaters. So
24 with that in mind, it makes sense to use scenarios that
25 have slower growth in the near term and just assume that

1 progress towards the state climate goals may be slowed in
2 the near term, but we do expect that the state will develop
3 and implement new strategies to meet our climate goals.

4 And then going up to the middle of the table, the
5 known loads row, this has been a main topic of discussion
6 over the past few weeks, and the bottom line is that more
7 information is needed before deciding how to include known
8 loads and if they will be included in the planning forecast
9 and local reliability scenario.

10 For the purpose of today's workshop, the planning
11 forecast results are presented with and without the known
12 loads, and the local reliability results are presented with
13 the known loads. Because known loads have been such a big
14 focus of discussion lately, I am going to recap some
15 previous presentations from previous workshops around what
16 these are, how our team incorporated them into the
17 forecast, and go over why we are considering including them
18 but why we are being cautious.

19 Next slide, please.

20 Okay, the utility known load data are
21 energization requests at the distribution system level.
22 These energization requests are for apartment buildings,
23 single-family housing developments, warehouses, schools,
24 etc. The utilities submit this data to CPUC as part of the
25 distribution system planning, and the data are then shared

1 with our Forecasting Team. This last year was the first
2 year that the data were shared with our Forecasting Team.
3 The data set includes project level data such as capacity,
4 sector, energization date, and then the utilities also
5 shared the load profiles with us that they use for
6 distribution planning.

7 And last note on this is that the utilities
8 consider the known loads to be high confidence.

9 Next -- sorry, stay here.

10 We wanted to incorporate these loads into our
11 forecast this year because of misalignment that's beginning
12 to occur between distribution planning and transmission
13 planning. The magnitude of the known loads exceeds the
14 growth in the IEPR Forecast. And under CPUC's High DER
15 proceeding, the IOUs can exceed the IEPR Forecast for
16 distribution planning with justification such as the
17 magnitude of the known loads.

18 Transmission planning, on the other hand, is
19 conducted by CAISO and adheres to the IEPR Forecast, and so
20 if these loads are not included in the IEPR Forecast, this
21 could lead to situations where the distribution system
22 upgrades are made to accommodate these new loads, but
23 there's no upgrades made to the transmission system. And
24 this mismatch could lead to delays with connecting new
25 loads, and it could also lead to reliability risks.

1 Next slide, please.

2 And this is a summary of the capacity requests by
3 year for each IOU. The main thing I want to point out on
4 this slide is the large amount of capacity requests for
5 PG&E and SCE that look to be coming online in 2025, and
6 this shows there's a backlog of energization requests,
7 especially at PG&E. The dates in this slide are the dates
8 that our forecast team used for the draft forecast, so this
9 spike shows up in the results that Mathew and Nick are
10 going to present later, and this has been one of the key
11 areas of our discussions and review over the last few
12 weeks. We know that these dates are optimistic and that
13 many projects have been deferred, and we are working with
14 the IOUs to update the timing.

15 And though there is some uncertainty with the
16 timing, I want to emphasize that excluding the impacts of
17 these capacity requests could create reliability risks if
18 we do not include them in the forecast, as we would not
19 have properly planned to have the resources to meet these
20 loads.

21 And then one last note while we're on this slide
22 is that I'm showing the transportation projects here just
23 to give a full picture of all the requests. However, we
24 excluded the transportation projects from our analysis to
25 avoid double counting with our Transportation Energy Demand

1 Forecasts.

2 Okay. Next slide.

3 So as we've been reviewing the known load results
4 and just the overall hourly forecast results, there are
5 several aspects that we're trying to balance when deciding
6 how to include the known loads in the forecast. As I
7 mentioned previously, the impacts of the known loads exceed
8 what we are forecasting in each sector. And this is
9 important enough to repeat. Even if a portion of these
10 loads come online over the next couple of years, then
11 excluding them could create reliability risks, as we would
12 not have properly planned to have the resources to meet the
13 loads.

14 Additionally, reliability risks are created by
15 having misalignment between the distribution system
16 planning and transmission planning. On the other hand, we
17 want to be careful about overestimating load, especially in
18 the short term, because it impacts resource adequacy
19 obligations.

20 This is the first year that CEC has considered
21 using the known load data in the forecast, and it's the
22 first year that the IOUs have compiled these data for our
23 forecast team. This means that we don't have a historical
24 record to look at to develop trends, to inform some of the
25 key assumptions that were made in the forecast. However,

1 even if we did, I also want to note, the past few years
2 have been anomalous with more energization applications
3 than seen previously, more applications than normal
4 submitted to the utilities. So we are working with the
5 transmission and distribution teams at the IOUs to sort
6 through the energization timelines and to validate other
7 key assumptions before finalizing the forecast.

8 Next slide.

9 Asish Gautam has presented on the known load
10 methodology at several previous meetings and workshops. So
11 for today, I'm just going to do a recap of that methodology
12 and highlight some of the changes that we're working on,
13 which will not only reduce the impacts of the known loads,
14 but push some of them out to future years.

15 So I first want to note that a cancellation rate
16 is applied, and that assumption is based on data from the
17 Grid Needs Assessment filed with the CPUC in August, and
18 this is not an assumption that we are looking at changing
19 for the final forecast.

20 The energization dates used in the results shown
21 today are based on what the IOUs included in their May
22 filing for CPUC. We are in the process of updating these
23 dates with the IOUs, and in particular, we're waiting on a
24 new dataset from PG&E.

25 The ramp rates are another area where we are

1 looking to make updates. The results shown today have load
2 ramping up over one year. PG&E recommended that we ramp
3 load over three years, which is what they use in
4 distribution planning because this accounts for project
5 deferrals, and we are waiting to hear from recommendations
6 from the other IOUs.

7 And lastly, we are looking at adjusting the
8 utilization rate. Again, the utilization factor is the
9 project's max load as a percent of the capacity requested.
10 For PG&E, we did an analysis of AMI data this year for
11 previously completed known load projects. We are
12 considering changing this to use the same factors that
13 PG&E's distribution planning team uses. Some of these
14 factors are higher than what we came up with, with the AMI
15 data. Some factors are lower. But switching to PG&E's
16 factors would be consistent with the methodology that we're
17 using for SCE and SDG&E since we weren't able to analyze
18 their AMI data.

19 For all of these areas, we'll continue to monitor
20 trends as we have more historical data, and we'll refine
21 our assumptions.

22 Next slide, please.

23 So we have received some data from PG&E already,
24 and we've done a preliminary analysis that incorporates
25 PG&E's recommended changes, and so this slide is comparing

1 results. In addition to the changes I mentioned on the
2 previous slide, we identified and removed 1,500 megawatts
3 of data center load that was double counted, and we
4 implemented a change that PG&E recommended to discount
5 projects that are 50 kilowatts or less by 50 percent. The
6 new results incorporate the three-year ramp that PG&E
7 recommended, but the one change that is not reflected here
8 are the new energization dates since we don't have that
9 data from PG&E yet.

10 So these preliminary updates result in a 48
11 percent decrease to annual impacts in 2027 and a 35 percent
12 decrease to annual impacts in 2030 for PG&E. This slide,
13 again, is annual impacts. We have not rerun the hourly
14 model yet to see how this would change the peak results.
15 So the hourly and peak demand results that Nick is going to
16 show later on in this workshop do not yet reflect -- they
17 do not reflect these changes.

18 So this leaves us at a place where, again, we
19 need more information and more time before we can make a
20 recommendation with how to include the known loads in the
21 forecast. There's a lot to consider and think through
22 regarding the reliability risks. There's always
23 uncertainty with the forecast, and what needs to be
24 considered is whether the risks to reliability outweigh the
25 uncertainties with this particular forecast component.

1 Okay. Next slide.

2 So just to wrap up, I have a few more slides
3 about the forecast timeline, and we'll note that the
4 updates to known loads will need to be made in the next
5 couple of weeks for us to meet the timeline for the January
6 business meeting where the forecast is proposed for
7 adoption.

8 Next slide.

9 This slide has the full list of workshops and
10 DAWG meetings that we've held throughout this year. We had
11 three DAWG meetings, and today is our fifth IEPR workshop.
12 All of the materials from these previous meetings and
13 workshops can be found online and covers the updates that
14 we made this year.

15 Next slide.

16 And here's more details on the DAWG meetings.
17 You can use this slide as a reference to look up any topics
18 that you're interested in. It will show you which dates
19 those were discussed.

20 And then, next slide.

21 So after today's workshop, we'll continue updates
22 to the known loads forecast. We'll also review any
23 comments, make any last adjustments, and post final results
24 by early January. I mentioned we do have data center
25 updates to make as well, and Mathew will touch on that in

1 his presentation next. But we are still targeting the
2 CEC's January business meeting for adoption.

3 Also, in January, we'll be developing the LSE and
4 BAA tables. With all the data center activity, there's
5 been more interest and questions around these tables. So
6 we are considering holding a DAWG meeting on those forms in
7 January before they are finalized.

8 And that's it for me. And I can take any
9 questions from the dais.

10 VICE CHAIR GUNDA: Thank you, Heidi. I had the
11 benefit of many briefings on this issue. I just wanted to
12 kind of, for the record, think this through.

13 In terms of known loads, can you just explain
14 what is the thesis here? So, you know, when I think about
15 demand forecasting, you know, we do the demand forecasting
16 based on the economic demographic variables as the
17 baseline. And then you're adding the load modifiers that
18 kind of get driven by policy and other changes. So we've
19 always kind of seen that going up and down a little bit
20 over time. But in terms of the known loads, is it just
21 that we are front-ending some of what is going to be in the
22 econ demo forecast in later years, or do we anticipate this
23 known loads to continue as an increment to the econ demo
24 baseline in the long run, or that's evolving?

25 So can you kind of share? Because I think it's

1 an important part of trying to reflect on the reliability
2 side of it. And I think we want to think through
3 transmission, distribution, IRP, and RA in different
4 contexts. But I think the reliability should underpin the
5 most robust sense of what the loads might be on the system.

6 MS. JAVANBAKHT: Yeah, I think the answer to your
7 question is that it's evolving. And we'll see as, you
8 know, we have a historical record of the known loads as we
9 build that historical record and can look at trends.

10 But one other key thing that I did not mention in
11 my slides that I should have is that these known loads are
12 incremental to what we're forecasting in the sector
13 forecasts. So we are -- the reason we're looking at the
14 annual energy is because if for a year in a sector, the
15 annual energy from the known loads data exceeds what our
16 sector models are forecasting based on the economic and
17 demographic data, then we're counting that difference in
18 the forecast or in the known load impacts. And so that's,
19 you know, the slide that I was showing with the estimation
20 of the known load impacts, it's that difference. It's not
21 the full impact.

22 But I think it will be really important for us to
23 continue to receive this data, you know, from the IOUs
24 through the CPUC and to continue to evaluate this to see.
25 You know, with so much load growth happening with

1 electrification and other, you know, just like buildings
2 being -- new buildings coming online, it's just a check, I
3 mean, more than just a check, but a check on our economic
4 and demographic forecasts. And if we do find that we are
5 underestimating load growth, you know, either reassessing
6 our economic and demographic forecasts and that methodology
7 or continuing to incorporate known loads in a similar way.

8 VICE CHAIR GUNDA: Just one more question and
9 then I'll pass it to Commissioner McAllister and
10 Commissioner Houck. So just on the -- maybe this is a
11 multi-part second question, so I'll not deviate from just
12 having two.

13 So in terms of known loads, right, so when we
14 have an econ demo kind of contribution to the forecast, I
15 think, A, you know, is to kind of think about when you say
16 incremental, you know, you have known loads, let's say the
17 known loads are 1,000 megawatts and, you know, but the econ
18 demo was 800, whether it's energy basis or capacity basis,
19 and if we say that we are going to take the 200 and add as
20 a premium or an incremental, would it also be an
21 undercount, that's one, you know, or an overcount, you
22 know, just one?

23 Second, in IRP and resource adequacy, we allow
24 for a certain level of demand cushion, so right about four
25 percent or so, like you have the PRM. And so that cushions

1 the planning a little bit in IRP. Again, that's not from a
2 known loads. That's more of a temperature deviation and
3 others. So let's just kind of say there's a little
4 cushion. Do you have similar cushion on the distribution
5 planning and transmission planning? I do not believe so.

6 So I'm kind of just thinking through what parts
7 of the planning already does account for certain
8 uncertainty? And could we absorb some of this uncertainty
9 in those today or not? And I think the point to your first
10 point -- your answer to the first question really points to
11 the transmission planning because it's a long-run process.

12 So just want to see any additional thoughts. And
13 I think we'll have a lot of discussions over the next
14 couple of weeks for sure.

15 MS. JAVANBAKHT: Yeah. Well, and I'm going to
16 call on Asish to provide his thoughts on this too. But
17 before I hand it to him, I just also want to note that
18 there's a reason we have two different forecasts. The
19 planning forecast is used for resource procurement. It's
20 used for resource adequacy and IRP. It's used for
21 transmission planning. But then we've also got our local
22 reliability scenario, which is really meant for the more
23 geographically granular planning. So it's the basis for
24 local transmission planning. And it's the starting point
25 for distribution planning.

1 So there is some consideration there for how do
2 we provide space for the grid upgrades to be made while,
3 you know, where maybe we want to err on the side of being a
4 little higher, while with the planning forecast, we, you
5 know, we want to do our best to make sure that that's what
6 we -- what we're anticipating, what we expect for resource
7 adequacy and for IRP.

8 I'm going to -- unless you have something you
9 want to say, I'll hand it to Asish to see if he has
10 anything to add on your other questions.

11 MR. GAUTAM: Thank you, Heidi.

12 So Commissioner Gunda, you made a really good
13 point. And this topic of double counting of impacts has
14 been on our mind. And the sort of the process that Heidi
15 described about how we want to remove double counting of
16 impacts from known loads is one approach we've taken. It
17 is based on looking at annual energy. And so there is a
18 way that we have addressed double counting of impacts.

19 But as to your other point about having extra
20 cushion from broader planning assumptions, that is
21 something we don't really get into when we look at the
22 forecast from a sector level. I think, as you noted in
23 your comment, a lot of the buffer is really for accounting
24 for contingencies related to weather and outages and things
25 of that sort.

1 But, you know, we've had a lot of food for
2 thought regarding double counting of impacts. So we do
3 want to spend more time on it as we collect more of this on
4 those data and become more familiar with it going to the
5 next diaper as well.

6 MS. JAVANBAKHT: And, Vice Chair, you're muted.

7 VICE CHAIR GUNDA: Sorry. Thank you. Thank you,
8 Asish. I think I don't have any other further questions
9 because I know we'll keep talking about it. But just as a
10 comment, you know, and Heidi, I think you and I had a short
11 conversation on this, I think it's really important for us
12 to think about as we propagate the uncertainty from the
13 starting point of the forecasting process all the way into
14 the build out, understanding what levels of cushion and
15 uncertainty is available and needed for, you know, the kind
16 of both the balancing act of affordability and reliability
17 and making sure, I think, if we are in an untenable
18 situation this year, you know, we recognize that there's
19 large known loads that most likely are going to come in
20 2025, but maybe not. I think it will be helpful for us to
21 think about what we recommend to PUC and CAISO downstream
22 processes on our recommendation of which forecast scenarios
23 they could use; right? It really comes down to that.

24 So let us kind of think this through. And I
25 think I want to be super conscious about the liquidity in

1 the market in terms of the total energy supply in
2 California and the West and what that -- how that impacts
3 the RA prices; right? I mean, that's a very important
4 thing to think about. And it's not a but, it's an and,
5 which is also we need to make sure the lights are on. You
6 know, we were lucky three years in a row. We had we had
7 moderate temperatures, you know, and we have good kind of
8 generation coming up in the West, especially in California.
9 So but, you know, if we were under an extreme scenario like
10 '22 and with this known loads coming online or a fraction
11 of them coming online, are we well situated in '26 to make
12 sure the lights are on and then that stability is there?

13 So, and I think there's a lot of choices we'll
14 need to make. And I really hope that some of the public
15 that are attending today have ideas on how to do this as
16 well, the tradeoff.

17 So with that, I'll pass it to Commissioner
18 McAllister.

19 COMMISSIONER MCALLISTER: Great. Thanks, Vice
20 Chair Gunda. So great discussion.

21 And I wanted to just have a look at -- this is
22 related to this probing there -- I want to have a look at
23 slide 19, and that's the known loads capacity requests.
24 And I guess, you know, the 2025, like this year, okay, we
25 have a ton of requests, particularly PG&E and Edison. And

1 I guess I want to get a little more sort of nuance on that.
2 Like, you know, you talked about the runway, the sort of
3 period of actual interconnection for those requests and how
4 you're modeling those, which does, you know, involve
5 multiple years going forward. But I guess is that
6 really -- do we really think 2025 is sort of, bam, tons of
7 requests and then they taper off and, you know, next, it's
8 starting in a month, or will many of those requests sort of
9 bleed over and kind of get deferred?

10 And I guess I'm just kind of wondering, like to
11 Vice Chair Gunda's point, you know, finding that balance
12 between, you know, overestimating the necessary build out
13 versus underestimating. It seems like, you know, I wonder
14 how you're thinking about that, that sort of probability
15 profile. You know, it's -- do we think we're kind of --
16 are we erring on any particular side, like kind of running
17 more risk of overestimating necessary resources?

18 It's really a two-part question. One, I just
19 want to understand slide 19 a little bit better in terms of
20 that huge slug of interconnection requests or capacity
21 requests. And then number two, kind of understanding
22 you're thinking about how this plays out as an incremental
23 resource going forward in future years. You know, is it
24 really separate from the main forecast or, over time, will
25 it kind of will it kind of meld with the historical

1 methodologies?

2 MR. GAUTAM: Thank you for those questions,
3 Commissioner McAllister. So just a quick note of
4 interpretation for the dates on the bottom. So the way
5 we've interpreted known loads data is that the 2025
6 represents when in 2025 the customers would like their
7 projects energized. So it's not new requests in 2025. So
8 they have been kind of going through the queue. And as I
9 understand for PG&E, they've had backlogs related to other
10 types of work. I think there's a lot of early years in
11 2020 focused on wildfires that has left a lot of deferral.
12 And the other change is that --

13 VICE CHAIR GUNDA: Asish --

14 MR. GAUTAM: Yeah?

15 VICE CHAIR GUNDA: -- I apologize. Just, I
16 think, just for the, I think, the clarity, that I think it
17 would really help us to have it discussed. So these are
18 already applications that have gone through the process and
19 have been waiting for energization. And there has been a
20 backlog in energization. And PG&E feels confident that
21 they are able to energize a fraction or a totality of this
22 known load. Is that a fair statement?

23 COMMISSIONER MCALLISTER: Like in this year?

24 VICE CHAIR GUNDA: Yeah.

25 MR. GAUTAM: Yes, that's kind of the approach

1 we've taken based on the energization dates that's in the
2 known loads data. And one of the other things is that
3 there's been enough issues raised with the backlog that,
4 you know, PG&E has issued some new energization timelines
5 related to some -- I think it was AB 50 requiring utilities
6 to do, you know, a more transparent and fair job of meeting
7 customers energization requests.

8 COMMISSIONER MCALLISTER: Mm-hmm.

9 MR. GAUTAM: So just a combination of factors
10 that have kind of come together the last few years where
11 2025 kind of sticks out. But we are expected to get new
12 updated data from PG&E, so we won't see if any of these
13 projects are slipping into 2026 or later on. But as of
14 now, based on the data we have, 2025 does stand out for
15 when these projects are expected to be connected.

16 COMMISSIONER MCALLISTER: Thanks, Asish. Asish,
17 that's interesting. That's really helpful.

18 It looks like, Commissioner Houck, did you want
19 to chime in on this? It's likely you have some insight on
20 this that -- from the PUC perspective.

21 COMMISSIONER HOUCK: Yes, and it was related to
22 the question I was going to ask. So I thought maybe staff
23 could answer together.

24 So SB 410 is -- and AB 50 required the PUC to
25 come up with energization timelines. And there was a

1 mechanism for the utilities to request additional funding
2 to expedite processing backlogged applications. So I
3 think, and it sounds like your staff confirmed that they
4 took this into account, for 2025, there would be an
5 extremely high number just because they were provided
6 funding and they were given timelines to complete a huge
7 backlog of applications for many reasons, including
8 prioritization of the wildfire mitigation. They have new
9 requirements going forward. So that is supposed to
10 hopefully eliminate or minimize the backlog and get
11 applications processed in a more timely manner.

12 And I guess one of the questions I have for what
13 you're looking at in the forecast, given this is the first
14 time you're looking at these known loads, is how are you
15 accounting for that backlog with that sort of huge number
16 for 2025 as we're going forward? Are you anticipating that
17 they will be back on track and on time, or is there a
18 certain, I think you talked about, cushion in there? I
19 know you mentioned that there was a significant increase in
20 the application.

21 So I guess one of my questions is, are you
22 anticipating that there will be this exponential increase
23 or that it will at some point level out to a more
24 predictable increased number after we get through this
25 backlog as you're looking at the forecast?

1 And then I know we've had a lot of discussions
2 and there are ongoing discussions about the pending loads.
3 And are you looking to incorporate potentially going
4 forward as we're trying to figure out how to incorporate
5 not just the known loads but the pending loads at some
6 point in these forecasts as well?

7 MR. GAUTAM: Thank you for those questions,
8 Commissioner Houck. So we have been treating 2025 as kind
9 of expected energization date for these projects. We know
10 PG&E is going to give us -- is expected to provide us some
11 updated data, so we want to see if those dates will move.

12 And then just kind of looking at the requests in
13 the several years before 2025, you can see it's been
14 building up, growing, trending up. And we're not sure
15 until we get more updated data if, you know, we're going to
16 go back to more manageable levels from the known loads
17 going forward. But it's something we do want to dig into.
18 And we do want to work with utilities to keep getting the
19 known loads data refreshed more often.

20 And then as far as your question of pending
21 loads, we have not looked at pending loads for this IEPR
22 cycle. But we are considering that for future IEPR cycles
23 as part of our scenario planning. As I understand, the
24 pending load is meant to enable more of a proactive
25 planning on the distribution sites. And we do want to kind

1 of inform that on the IEPR cycle. So that is a plan for
2 the future.

3 VICE CHAIR GUNDA: Yeah.

4 COMMISSIONER HOUCK: Thank you.

5 VICE CHAIR GUNDA: Thank you, Commissioner Houck
6 and Commissioner McAllister. And I think this probably
7 will be more discussion here. And Commissioner McAllister,
8 really welcome. We are BK'd on a lot of these things. So
9 I think we have an opportunity to work through this
10 together.

11 COMMISSIONER MCALLISTER: For sure. I guess I
12 did have one other brief question, though.

13 VICE CHAIR GUNDA: Yeah, go ahead.

14 COMMISSIONER MCALLISTER: I don't know if we
15 are -- maybe you're looking to Heather to see where we are
16 on time. But I guess, I think you were kind of implying
17 this, Vice Chair, but what -- under what kind of
18 conditions? You know, you said you're -- you know, the
19 team Heidi is building will be building a sort of
20 historical record as more -- as this kind of conception of
21 known loads and, you know, future loads that aren't kind of
22 in the base forecast, you know, they're incremental and
23 above. And I just want to flag that risk of kind of
24 overestimating. I mean, obviously, we want reliability,
25 but also we don't want to overbuild and, you know, impact

1 customers from an affordability angle.

2 So it does seem like there's a bit of a risk of
3 kind of overshooting with this addition insofar as these
4 loads sort of by, you know, by experience and by kind of
5 understanding are reflected more and more in the base
6 forecast; right? So I guess I'm wondering sort of what the
7 plan is as we understand more how many of this will -- how
8 many of these sort of new loads will become -- how will the
9 consideration of these new loads, you know, data centers
10 and, you know, the other loads you're talking about here,
11 be sort of routinized and incorporated into the base
12 forecast? Like over time, what that -- what does that
13 process look like?

14 VICE CHAIR GUNDA: Yeah, Commissioner McAllister,
15 I just want to add to that question, too. And I think I --
16 you're -- I think I 100 percent resonate with your kind of
17 thinking here. I think the question for us, I look forward
18 to Asish's response here, is really kind of thinking about,
19 so for example, on the reliability planning, for example,
20 when we do the stack analysis going into a summer, what
21 we've done is we've taken the forecast and then we said the
22 worst-case scenario is at 12 percent deviation, right --

23 COMMISSIONER MCALLISTER: Yeah.

24 VICE CHAIR GUNDA: -- you know, from the demand
25 forecast because of the heat and fire and other risks. And

1 so we kind of like planned the worst-case scenario of
2 reliability for that reason to de-risk our lights going
3 out. But as you say, that is not a prudent way to, you
4 know, possibly plan for a reasonable build-out.

5 COMMISSIONER MCALLISTER: Mm-hmm.

6 VICE CHAIR GUNDA: But I think this is where, if
7 there is a reliability standard and there is, to your
8 point, there is an affordability standard, I mean, what
9 reasonable risk can we take? And I think, you know, what
10 I'm taking away from this, it's unclear. And we have to
11 make some discretionary choice in the near term. And I
12 would, I think, I'm kind of leaning towards putting all the
13 information out and then kind of --

14 COMMISSIONER MCALLISTER: (Indiscernible).

15 VICE CHAIR GUNDA: -- calling out that deviation
16 for a year if we think that's prudent to do.

17 But Asish, I'm asking you, Asish, there's a
18 broader question there.

19 MR. GAUTAM: Yeah, thank you. So one of the
20 things that we've considered trying, and we did try to look
21 into for this year, is to see if any -- if we can see any
22 trend in our sales data as a result of these known loads
23 projects getting completed. Right now, our sales data is
24 current until June of 2025. And when we kind of looked at
25 it, we did not see any noticeable trend of increase in

1 loads, anything from more seasonal variation or anything
2 from prior years.

3 But Commissioner McAllister, I think, as we
4 expect these projects to get completed, we want to see how
5 our sales data is reflecting that, which we collect through
6 our QFER data system. And then, you know, going forward,
7 as the sales impact of these projects are embedded in our
8 sales data, that's, I think, how we will sort of consider
9 it to be part of the baseline --

10 COMMISSIONER MCALLISTER: Yeah.

11 MR. GAUTAM: -- impacts going forward.

12 COMMISSIONER MCALLISTER: Okay, that's super
13 helpful. And maybe just one more comment to wrap up, and I
14 want to just make sure that Commissioner Houck and
15 Commissioner Baker have a chance to ask any questions they
16 have remaining.

17 So, I guess, so I really -- I really appreciate
18 the kind of intentionality of, you know, incorporating this
19 new, you know, new circumstances; right? The world is
20 changing quickly. And I think this is a reflection of just
21 AI and all the, you know, broader societal trends that are
22 driving a lot of this; right?

23 I guess I'm wondering, I think we need to pay
24 pretty close attention to like the co-location discussion
25 and how many of these loads will actually be -- how they

1 will be impacting the grid; right? It might just be kind
2 of a local interconnection issue, but not as much of an
3 energy or capacity issue, per se, if there's a lot of co-
4 location going on with new data centers, say. If the
5 interconnection challenge sort of gets resolved in
6 different ways at different sites, right, where some of
7 them, yes, the utility responds and gets the capacity and
8 supplies the energy to others, where you're going to have
9 sort of weakly connected interconnection, or weakly
10 connected grid at the interconnection point and some co-
11 location going on.

12 So, I guess, just, it seems like the context of
13 each site kind of matters, and I don't know how much
14 granularity we'll be able to develop, but it does seem like
15 that potentially mitigates some of the capacity challenges
16 that we have on the system, and so really something to keep
17 track of going forward. I didn't hear any of that in the
18 presentation, but maybe you're already doing that.

19 MR. GAUTAM: So with the known loads, what we saw
20 was the aggregation of capacity through different types of
21 load types, so between residential development --

22 COMMISSIONER MCALLISTER: Yeah.

23 MR. GAUTAM: -- small commercial buildings, and
24 things like that. So, you know, we can expect some
25 adoption of behind-the-meter systems on there, especially

1 for residential and new construction. But, you know, this
2 is a little bit distinctly different than data centers,
3 where it's a smaller number of facilities but, you know,
4 larger capacity, whereas --

5 COMMISSIONER MCALLISTER: Yeah.

6 MR. GAUTAM: -- on the known load, it's a little
7 bit -- a little bit different. I mean, there are some
8 larger sizes in there, but there's nothing compared to this
9 capacity requested by individual data centers.

10 COMMISSIONER MCALLISTER: Okay, so you're not
11 seeing co-location at data centers, like generation
12 capacity co-located at data centers in some of these new
13 sites, these proposed sites?

14 MR. GAUTAM: Besides some of the sites having
15 backup generation --

16 COMMISSIONER MCALLISTER: Yeah.

17 MR. GAUTAM: I don't recall --

18 COMMISSIONER MCALLISTER: Okay.

19 MR. GAUTAM: -- any co-located generation --

20 VICE CHAIR GUNDA: Yeah.

21 MR. GAUTAM: -- projections.

22 COMMISSIONER MCALLISTER: Okay.

23 VICE CHAIR GUNDA: I think, I think,
24 Commissioner, I think one filter we already get here is,
25 because this is, most of this is applications to the IOUs

1 for a connection.

2 COMMISSIONER MCALLISTER: Yeah, right. Okay.

3 VICE CHAIR GUNDA: That becomes a secondary, I
4 think. I think, you know, but I think it's a fair
5 question.

6 And, you know, Commissioner Houck, would really
7 like to follow up on this, and I don't know if Commissioner
8 Baker has any questions as well. I think there are two
9 things that was well articulated by Commissioner
10 McAllister, and I think we need to think through is, one,
11 the consistency of approval from the Commission on what is
12 required or what we expect to reasonably come online. I
13 think that's an important element.

14 COMMISSIONER MCALLISTER: Mm-hmm.

15 VICE CHAIR GUNDA: And there is an element of
16 pre-planning. So, you know, we know that load is coming.
17 And, you know, for the pre-planning, you know, we need some
18 of these investments to be authorized earlier so that can
19 be ready.

20 But there's another question here that
21 Commissioner McAllister also raised, which is, while we are
22 being consistent and then making sure we are taking
23 proactive steps to authorize the necessary investments, is
24 the load real? And if it's not real, what do we do? And I
25 think that's kind of a question no matter where it is,

1 whether it's RA or TPP --

2 COMMISSIONER MCALLISTER: Yeah.

3 VICE CHAIR GUNDA: -- or IRP, and I think that's
4 a -- I think we need to align on the consistency of, we
5 think the load's coming, for sure, it's just about the
6 timing of investments and affordability considerations that
7 we might use different forecasts for different things. But
8 the certainty of load, I think, cannot be questioned across
9 the -- for -- or cannot be inconsistent across all the
10 different processes.

11 Commissioner Houck, I don't know if you wanted to
12 respond now, or we can follow up?

13 But also, Commissioner Baker, I don't know if you
14 have any questions.

15 COMMISSIONER HOUCK: Yeah, and I would say that,
16 yeah, that is something we've been grappling with, how do,
17 you know, we know the load is real, and what are the
18 criteria? I think the resolution that we have pending
19 before us tomorrow sets out some criteria that we're
20 looking at as far as when we would allow the utilities to
21 go beyond the IEPR Forecast and what it would mean for
22 certain geographic areas. So I think we should definitely
23 continue to talk in regards to the pending load part of it.

24 And then the known load, also, as Commissioner
25 McAllister said, not all applications end up coming to

1 fruition, but we know that we have a lot of increased
2 energization coming forward, and so we want to be really
3 careful to make sure we're able to energize customers, but
4 we also want to be very careful not to over plan and end up
5 with stranded costs.

6 And so these are all the things we're all trying
7 to balance, and the work you're doing is really critical to
8 how we land on this, because we really want that right
9 balance of making sure we've got a grid that's reliable and
10 able to interconnect folks, but not have customers pay for
11 expanded infrastructure that may not be needed.

12 COMMISSIONER MCALLISTER: I want to give
13 Commissioner Baker a chance to ask a question if he has
14 one.

15 VICE CHAIR GUNDA: This might --

16 COMMISSIONER MCALLISTER: Maybe he's had to step
17 away.

18 VICE CHAIR GUNDA: This might be CPUC pulling,
19 you know, dragged over our eyes. And I think we had more
20 Commissioners at the start.

21 COMMISSIONER MCALLISTER: Exactly. Yeah. Yeah.

22 VICE CHAIR GUNDA: Exactly, and that that --

23 COMMISSIONER MCALLISTER: We're pulling ahead.
24 We're neck and neck. We're neck and neck.

25 Hey, I did want to ask briefly, just I know we've

1 got to move on, but is there any sort of additional
2 conversation that's necessary about large loads connected
3 to the transmission grid, maybe that are outside of the IOU
4 interconnection conversation? Are we considering any of --
5 is there any of that going on, like that are sort of
6 directly, you know, connected to the CAISO grid and, you
7 know, other projects that are sort of part of load, but
8 also part of supply, or part of -- yeah? I'm not quite
9 asking the question I want to ask, but I'll just leave it
10 there because it's more or less clear, I think.

11 MR. GAUTAM: There are some discussions about how
12 aggregation of some of these loads can impact local
13 transmission planning. So we've had some discussion with
14 utilities on that, but kind of still ongoing on how to
15 reflect some of these in the IEPR, but still kind of early
16 in the stage.

17 COMMISSIONER MCALLISTER: Okay.

18 MR. GAUTAM: But, yeah.

19 COMMISSIONER MCALLISTER: Yeah, no worries. We
20 can follow up on that later. That's kind of a separate
21 question.

22 But, yeah, Commissioner Baker, go ahead. I think
23 you might be muted.

24 COMMISSIONER BAKER: I apologize. What you can't
25 see in the background is there's a giant Great Dane that is

1 demanding that I scratch her, but I don't have any
2 questions at this time. I apologize. I had to step out
3 for 10 minutes for a meeting, so I'm back now.

4 VICE CHAIR GUNDA: Thank you, Commissioner.

5 COMMISSIONER MCALLISTER: Awesome. Thanks.

6 VICE CHAIR GUNDA: Yeah, I think the agreement
7 was to just kind of answer the Q&A in writing on the go, so
8 if we're good with that, Commissioners, then we can kind of
9 keep moving to the next item.

10 Heidi, back to you.

11 MS. JAVANBAKHT: Okay, well, and then just
12 quickly before I hand it to Mathew Cooper, there was one
13 question in the Q&A that I do want to touch on about
14 whether we'll be publishing another draft of the results
15 after we update the known loads data set. I would really
16 like to get input from all the workshop attendees today on
17 what the best way to do that would be since we are heading
18 into the holidays. We have talked about the potential of
19 doing another DAWG meeting where we present the updated
20 results, but we could alternatively just post results and
21 alert everyone that those are available for review. Open
22 to suggestions here since, again, we're heading into the
23 holidays and want to make sure everyone has a chance to
24 review everything before we adopt in January.

25 Okay, Mathew, I'll hand it over to you.

1 MR. COOPER: Hello. Good morning, everyone. I'm
2 going to present draft results for our annual forecasts.
3 And I'll probably skim through pretty quickly through some
4 of this to make sure there's time for Nick's hourly
5 results.

6 Go ahead and go to the next slide.
7 Just a list of acronyms.

8 Next slide.

9 I'll just go over some drivers for the forecast
10 quickly.

11 So next slide.

12 Here are some of our primary inputs and how they
13 changed from the 2024 IEPR cycle. And this is just
14 intended to give a quick directional indication.
15 Obviously, the reality is more complicated than just a
16 single up or down arrow, so we'll look at a few of these
17 more closely. And this is specifically just a comparison
18 to last cycle.

19 For example, population is still growing this
20 year's forecast, just at a slightly lower rate than
21 previously predicted, so it gets downward arrow. And
22 households are going up at a higher rate than previously
23 predicted.

24 We presented on economic and demographic inputs
25 at a July DAWG and an August IEPR. You can refer to those

1 for a deeper dive. Overall, economic measures are a little
2 lower over the next few years, but then they return to or
3 exceed previous growth rates for the rest of the forecast.

4 As we said in those previous workshops, there was
5 a lot of economic uncertainty due to policy shifts, trade
6 disruptions, regulatory volatility. Forecasters were
7 cautious in making big shifts in their economic outlook.
8 This is back in May, and so far that appears to have been
9 an accurate prognosis. So rates are a little higher than
10 previous forecast. Our self-generation grows a little more
11 slowly due to the removal of the investment tax credit.

12 Next slide.

13 We have our updated data center model to reflect
14 the latest application data, which grows the forecast. We
15 have the known loads data, which we've been talking about,
16 which adds a significant amount to the forecast. And as we
17 said, the charts that we're showing in this presentation
18 have the previous draft results, not the new lower versions
19 from Heidi's later slide.

20 Last year, the model for cannabis production was
21 revised to use some new data from California's Department
22 of Cannabis Control. This year was updated again using
23 actual energy consumption from that same department, and
24 the results are pretty similar.

25 Updated transportation forecast shows lower

1 consumption due to slower sales growth and recent federal
2 policy changes, although the changes to the forecast aren't
3 as enormous. They aren't enormous, not as big as maybe you
4 might think. And in general, changes to annual energy
5 don't look as dramatic as like changes to adoption rates.

6 Committed savings are a little tricky. The total
7 estimated savings are lower, but rather than increasing
8 consumption, it actually reduces the forecast because
9 there's less resulting decay. I'll have another chart
10 about that.

11 Additional achievable load modifiers, you can
12 refer back to our November 13th IEPR. Energy efficiency
13 impacts are higher.

14 Fuel substitution, I believe the PiCS portion is
15 larger, meaning more gas consumption displaced, but the
16 zero-emission results are a little lower, so overall it
17 works out to be similar to last cycle.

18 And AATE transportation trends are similar to
19 baseline transportation, down a little bit. We also have
20 additional Scenarios 2, 3, and 4 for AATE. So like was
21 explained, we've been considering multiple combinations of
22 load modifiers for the forecast scenarios.

23 Next slide.

24 This is just a breakout of some of our primary
25 econ demo drivers, just to show a little more explicitly

1 how they're a little down in the short term, but kind of
2 return to growth later. And I'm just showing this because
3 consequently you can see that a little bit of that impact
4 in the energy -- annual energy results. There's some
5 rounding errors that make it look like the calculations
6 don't add up, but I didn't want to show too many decimal
7 places because the slide has a lot already.

8 Next slide.

9 Here's, just visually, population in households,
10 our primary demographic variables. The 2024 IEPR showed a
11 return to positive population growth, and the 2025 IEPR is
12 similar, just slightly lower. Households show an increase,
13 which is part of an accelerating trend of fewer persons per
14 household.

15 Next slide.

16 For rates, we had sharp increase in recent
17 history. Future increases are a little higher than last
18 year, but still gentler than like the recent historical
19 years. And overall, our modeling suggests the impact of
20 rate increases is fairly modest on the forecast results.

21 Next slide.

22 Savings from utility programs is smaller in
23 magnitude than previous years. So, like I mentioned, that
24 would increase sales if these impacts were growing in the
25 future years, but we adjust the forecast according to the

1 incremental effect impact of those savings because the past
2 savings are embedded in the historical data. So since
3 we're past the peak, we're experiencing increasing
4 consumption as the savings decay, and less savings means
5 less decay. This was covered by Usman and Cynthia in a
6 previous DAWG, who explained it better, I'm sure. You can
7 look up their slides.

8 Next slide.

9 Okay, so data centers. We received lists of data
10 center projects from utilities categorized by what stage of
11 interconnection the project is in, agreement, application,
12 or inquiry, and we applied some assumptions to turn that
13 requested capacity into forecast demand, same model as last
14 year. The utility projects were originally provided to us
15 in September, and the results that Nick and I are sharing
16 today use that September data.

17 But I just want to note that we recently received
18 updates, and the new list of projects will be reflected in
19 the final forecast results published in January. So those
20 December columns for PG&E and SCE will be in our results
21 that will be shared or posted, you know, shortly, but not
22 in these slides.

23 Next slide.

24 This should look familiar to anyone who was at
25 our last workshop. It's the same slide, just comparing the

1 September data to last year. A lot more applications than
2 last year, but because of the confidence levels that we
3 apply, the mid-case forecast isn't hugely bigger than last
4 year. And that will probably be true for the updated
5 December data. We're still reviewing it.

6 The next slide has the high case, which does
7 count more of the pending applications and more of the
8 speculative inquiries, so it reflects more of the
9 additional capacity requested. And the December data will
10 definitely increase this one somewhat.

11 Next slide.

12 Now look at some results.

13 Next slide again.

14 So this is similar to what Heidi already shared.
15 We have mid and high cases for baseline consumption sales,
16 and here are the differences, data centers and known loads.
17 And for sales, we have different scenarios because we
18 forecast -- our models forecast consumption, and then we
19 subtract self-generation to get to sales.

20 Next slide.

21 Okay, so finally, here are our draft results for
22 baseline electricity consumption. We have the mid and high
23 cases in blue and orange, respectively. The solid lines
24 are this year's forecast. The dashed lines are last year's
25 mid and high forecasts. So you might notice initially

1 there's more distance between the scenarios. Last cycle,
2 it was like 5 terawatts by 2045 -- terawatt hours, sorry.
3 This year, it's 37 terawatt hours. And it's because last
4 year we didn't have the known loads and this year we
5 have -- you know, we're counting more data centers in the
6 high case. And, again, this isn't final. Those, both of
7 those, will be revised.

8 Mid-case consumption is a little lower in the
9 first part of the forecast, which is due to that more
10 pessimistic economic outlook that we described. And a lot
11 of that shows up in the commercial sector. We also applied
12 a slower ramp rate to our -- we used a slower assumptions
13 for ramping for our data centers in this version. I think
14 our updated data that we're receiving from utilities has
15 some more detailed information on ramping. So we'll be
16 looking at that and possibly incorporating that, also.

17 So even though this mid-case is a little lower
18 than last year, it still definitely represents a
19 significant rise from the history in the dashed gray line.
20 So, you know, electrification and data centers are still
21 expected to grow consumption by quite a lot.

22 Next slide.

23 This is the sales, electricity sales, which is
24 pretty similar to consumption. The trends are similar
25 anyways. Yeah, so the distance between the scenarios is

1 just slightly higher because of our different self-
2 generation forecasts.

3 Next slide. One more.

4 And these are our economic sectors and the type
5 of modeling we're using. So a lot of work goes into each
6 one of these, although I'm going to go through them pretty
7 quickly today. The impacts of transportation, data
8 centers, program savings, and other adjustments are
9 forecast separately and added on top of these models to get
10 our final results, which is what I'm showing in these
11 charts with the final forecast for each sector.

12 We tried to avoid any major methodological
13 changes this year, as the Commissioner noted, but there are
14 a few minor changes. We have a more robust way to
15 calibrate the residential end-use model. We have an
16 improved econometric model for the commercial sector that
17 predicts energy per square foot of floor space, more
18 similar to how the end-use model works. And the commercial
19 end-use model is still being revamped, but it will be used
20 next cycle. And for the ag sector, we have the new
21 cannabis data that I mentioned. And we're also doing a
22 very small adjustment for climate change in the overall ag
23 forecast.

24 Next slide.

25 So this is just an overview of our residential

1 calibration. I won't talk about it much here. In the
2 past, we've scaled the end-use model to a recent weather-
3 normalized historical data point. This year, we continue
4 to do that. We also used a principal component analysis to
5 adjust the individual end-uses based on more years of
6 historical data. PCA is a statistical process that allowed
7 us to identify the causes of variance in residential
8 consumption in terms of the modeled end-uses. There's a
9 DAWG presentation and a technical paper going over this, if
10 anyone wants more details.

11 Next slide.

12 So here's the results for the residential sector.
13 This is one that's growing more significantly. Consumption
14 is higher compared to the 2024 IEPR, and that's due to the
15 increase in overall number of households, or a decrease in
16 persons per household. The growth for the very first year
17 of the forecast is a little lower, you can see, but it
18 picks up pretty quickly. And for last year's IEPR, mid and
19 high cases were the same. The 2025 IEPR has the known
20 loads in the high case, although that's for the IOU
21 territories only.

22 Next slide.

23 So that near-term economic uncertainty is seen
24 mostly here in the commercial sector, and also somewhat in
25 the industrial sectors. The last historical data point,

1 2024, also had lower consumption than what the previous
2 forecast predicted. And then there's the more conservative
3 ramping assumptions, which I mentioned earlier.

4 But the high commercial forecast ends up being
5 much higher in the long-term, again, due to known loads and
6 new data center applications. This high case does discount
7 the applications inquiry still, you know, based on the
8 probability that they'll get built, but even those
9 discounted numbers have a very big impact on the forecast.
10 The difference between the blue and the orange line is
11 about 29 terawatt hours; 17 of that's data centers, 12 is
12 known loads. But again, like we mentioned, those will be
13 revised, so it won't be the exact numbers.

14 Next slide.

15 A similar story for manufacturing. Manufacturing
16 output had a downturn in the data. I'll probably just skip
17 over a few of these in the interest of time.

18 So if you could go to the next slide?

19 Mining and construction, sometimes we group these
20 together, but I have them separate here.

21 Next slide.

22 Agriculture, including cannabis production, water
23 pumping, I mentioned that already.

24 Next slide is TCU, which is transportation,
25 communication, utilities, transportation just referring to

1 non-motive power, like energy associated with
2 transportation activities, and that grows kind of just with
3 population.

4 Next slide.

5 This chart just shows a stack of consumption for
6 each sector. So you can see that, kind of historically,
7 residential and consumption have been similar, sort of neck
8 and neck. But in the near -- you know, in the mid part of
9 the forecast, consumption grows pretty significantly, and
10 that overtakes residential as the largest share.

11 Yeah, next slide. Next slide.

12 And I'll look at self-generation again. So,
13 solar PV is the largest component of self-generation. So
14 removing the investment tax credit decreased the self-
15 generation forecast compared to last cycle. This was
16 discussed in previous workshops by the Distributed
17 Generation Team. We have here the mid case in green and
18 the low case in orange, yellow-orange. And just, again,
19 keep in mind this shows energy generated, not capacity or
20 new installations, which would show the impacts more
21 starkly, so annual energy just grows more slowly than it
22 would otherwise. And also note that the low self-gen
23 scenario goes with the high sales case because it offsets
24 less consumption.

25 Next slide.

1 This is that same self-generation chart flipped
2 upside down and then with the sales added on top. So in
3 this context, you can see that self-generation is quite
4 significant overall. Sales would be much higher without
5 it. But changes to the self-gen forecast this cycle aren't
6 really driving the big changes in sales, despite the ITC
7 going away.

8 Next slide.

9 Now we'll look at a few scenarios for managed
10 sales.

11 Next slide.

12 So here's the combinations that were considered.
13 As Heidi mentioned, the planning alternative, with or
14 without known loads, is what the planning forecast will
15 use. So right now we have -- last year's forecast is the
16 dashed blue line. The solid blue line is this year's
17 forecast if we use the same combination. And the green
18 line is the alternative planning scenario combination with
19 the lower load modifiers. And then the brown line is if we
20 added known loads back into the planning scenario.

21 So lower baseline sales, increased AAEE,
22 decreased AAFS and AATE, all make the planning scenario
23 lower than the previous cycle. Although the known loads
24 would, if we included them, would push it up in the short
25 term.

1 Next slide.

2 So similarly, we have two versions of the local
3 reliability forecast, both including known loads but with
4 higher fuel substitution and transportation, and one with
5 slightly more conservative versions. And some of these
6 load modifiers for local reliability were also smaller than
7 in the previous forecast, but the addition of the known
8 loads eclipses them. So for our final versions, I'm not
9 sure exactly where these scenarios will land. Hopefully,
10 it will be something close to this. The known loads are
11 being revised downwards. Data centers will be revised
12 upwards. So there will be some -- they'll offset each
13 other to some degree. I think it may end up being a little
14 lower than what's shown here, so a little closer to last
15 year's.

16 Next slide.

17 Just for context, here's the alternative planning
18 and alternative local reliability scenarios on the same
19 chart. You can see the difference between them is larger
20 than in past forecasts. Adding the known loads to the
21 planning scenario would make the scenarios closer together
22 at first, but they still diverge.

23 Next slide.

24 This shows the impacts of just the load modifiers
25 for traditional planning scenario versus our alternative

1 planning scenario, with the yellow gold line showing the
2 net impacts. So you can see the impacts of the alternative
3 are more modest or they're even negative in the earlier
4 years.

5 And the AATE shown in green here is the amount
6 incremental to the baseline transportation forecast.
7 Baseline has, you know, a significant amount of
8 transportation electrification already. I think it goes to
9 almost 80 terawatt hours by 2045. So the AATE scenarios
10 here add another 30 to 50 terawatt hours on top of that.
11 So kind of like what I said about self-generation, the
12 changes to federal policy have impacts when you compare to
13 last cycle, but we're still forecasting very significant
14 growth for transportation.

15 Next slide.

16 Same thing here, but for our local reliability,
17 traditional and alternative scenarios. And this is, again,
18 just looking at the AA pieces, not the data centers or
19 known loads.

20 Next slide.

21 So now I'll switch to annual gas sales. So for
22 gas consumption is equivalent to sales since there's no
23 self-generation. And we also have only a single baseline
24 scenario since all of our mid and high differences apply
25 only to electricity.

1 Next slide.

2 The gas forecast is done every other year, so
3 we're comparing to the 2023 IEPR. I made a mistake on some
4 of these slides by referring to 2024 IEPR. It should say
5 2023, so apologies for that. The most recent historical
6 data shows lower gas consumption statewide. That and the
7 lower economic projections cause the baseline forecast to
8 be a little lower, but still relatively flat.

9 Next slide.

10 Sector modeling techniques are usually similar
11 between gas and electricity. A few differences. We didn't
12 do the PCA for the gas, residential gas end-use model, but
13 we still calibrate it to recent historical data. And we
14 may implement the PCA in the future.

15 Actually, there's a mistake on this slide as
16 well. We didn't use the new econometric model for
17 commercial, we used the previous version, so not energy per
18 floor space, but the total results wouldn't -- aren't that
19 different anyway.

20 So next slide.

21 So if you remember, for electricity sales, also
22 had in the very first year of the forecast, there's a
23 little bit of a lower growth rate. And that may be due to
24 like personal income slowdown. You can see that a little
25 more pronounced here. But the growth picks up pretty

1 quickly because of that increase in the number of
2 households.

3 Next slide.

4 For the commercial sector, we have a leveling off
5 and then a little bit more of a decline in the growth rate.
6 And this downward curvature is probably caused by rates
7 growing faster than commercial employment. That was also
8 sort of present in the electricity forecast, just the
9 growth rates were higher there and it got masked by data
10 centers and known loads anyways.

11 Next slide.

12 I'll skim over these quickly. Also, this is
13 similar to last cycle.

14 Next slide.

15 Mining and construction. This sector tends to
16 depend on like sometimes big project coming on or offline.
17 And I think this recent historical drop may be related to
18 oil and gas projects.

19 Yeah, next slide.

20 TCU gas sales also correlated with population, so
21 just a slightly slower increase. And again, these text
22 boxes should have said 2023 IEPR, so sorry about that.

23 Next slide. Almost done here, so a couple more
24 slides. Go ahead to the next one. So, if we used our
25 planning -- oh, sorry, one back. Thanks.

1 If we used our planning scenario combinations
2 from the electricity forecast and applied them to the gas
3 forecast, this is what the results would look like. So if
4 you remember on the baseline slide, baseline gas sales were
5 slightly lower but fairly flat. So these load modifiers,
6 they just decreased the gas sales over the forecast period.
7 The colors, we tried to make them the same as what we used
8 earlier with traditional planning scenario in blue and the
9 alternative in green.

10 Next slide.

11 Same idea here showing the impacts of local
12 reliability. And the difference between planning and local
13 reliability sales for gas would be smaller than the
14 difference between the electricity scenarios.

15 And next slide. I think that's it.

16 Okay, sorry for speeding through that, but happy
17 to take questions. Or actually, I think we'll go to the
18 dais first; is that right?

19 VICE CHAIR GUNDA: Yeah, Mathew, thank you for
20 the presentation, again, as a benefit of a lot of these
21 discussions.

22 Can I just make sure that I put one thing on the
23 record as, you know, and just kind of stakeholder? You
24 know, what is the -- in each increment of the data center
25 load, like and as we have different vintages of information

1 coming to us, is it my -- is my understanding correct that
2 the Group 1 of the data center load has significantly grown
3 in the last couple of months?

4 MR. COOPER: Yes. Yeah, that was the slide that
5 should the change from PG&E and SCE, the three stacked bar
6 charts. Yes, the Group 1 agreements grew for PG&E.
7 Although, I think the Group 2 agreements, there were some
8 dropouts -- sorry, Group 2 applications, like pending
9 applications, show some dropouts.

10 VICE CHAIR GUNDA: Yeah. And, Mathew, just kind
11 of making sure on that one. So the Group 1 are the
12 applications received, engineering studies are done and
13 you're essentially ready to go, but we still give a haircut
14 to that; right? And the haircut is what percent?

15 MR. COOPER: Yeah. For the mid case, I think
16 Heidi mentioned this, we are -- in these results, we have
17 70 percent of the capacity of those agreements in the mid
18 case and have -- and are considering -- we're revisiting
19 that number. In the high case, 100 percent of the
20 agreements are counted.

21 VICE CHAIR GUNDA: Got it. And then the high
22 case is used for the local reliability?

23 MR. COOPER: Yeah.

24 VICE CHAIR GUNDA: Got it. Okay, so -- and is
25 there a specific scenario that's used for DRP distribution

1 planning? Is it essentially local?

2 MR. COOPER: Yeah, I think so.

3 VICE CHAIR GUNDA: Okay.

4 MR. COOPER: Yes.

5 VICE CHAIR GUNDA: And so, I mean, I'm kind of
6 just -- you know, first of all, I want to thank the IOUs
7 and the CCAs, everybody who's been providing us. And, you
8 know, SVP has been tremendous as well, just the data that
9 we get. But I do want to acknowledge that, you know, to
10 the extent that we are receiving that information as Group
11 1, 2, and 3, the utilities are in the best place to tell us
12 which group that is in, right, I mean, the accuracy of the
13 validity of that information. Okay.

14 And I think that's -- again, it kind of ties the
15 thread between Heidi's presentation and yours on some of
16 this information, I think, you know, whether it's known
17 loads or this, there is a certain level of credibility
18 based on how far into the process these projects are and,
19 you know, what level of discretion or what level of
20 assumptions are we going to use in terms of, you know,
21 whether it's ramp rate, whether it's a utilization and so
22 on. So I think the -- yeah, I think let's kind of land on
23 the final results. And I think there will be a lot of back
24 and forth we probably need to do on finalizing the
25 forecast.

1 But, Mathew, I know how hard you and the rest of
2 the team are working on making sure this is as good as
3 possible in terms of the data, so thank you for all your
4 work. I don't have any further questions. Thanks for
5 clarifying that on the record.

6 And Commissioner McAllister, do you have any
7 questions?

8 COMMISSIONER MCALLISTER: Yeah. I think just
9 one, and maybe two.

10 So just thanks, Matt, for this. This is, I mean,
11 a ton of information. I'm sort of like going through it
12 really quickly. And I know trying to conform with the time
13 requirements here is hard. But so much work behind all of
14 this information, so just thanks to you and the team for
15 the completeness.

16 Let's see. I guess I really appreciate the
17 mapping of the electric scenarios over to the gas side, you
18 know, as we do, particularly around fuel substitution from
19 gas end-use devices to electricity. I kind of wanted to
20 invite a little bit of -- I mean, it looks like the effects
21 aren't, you know, huge. But I wonder in terms of AAFS,
22 could you help us understand kind of how the various
23 scenarios -- I mean, obviously, this is a conundrum of our
24 time, right, is how to plan both systems to be reliable and
25 safe and manage costs on both sides as sort of we see the

1 decline in gas consumption over time, which seems modest
2 right now, but also, you know, trying to plan for
3 relatively larger scale electrification of buildings, you
4 know, residential and commercial buildings.

5 Any observations about sort of how that's going
6 and sort of how much the fuel substitution is currently
7 and, you know, the range of possibilities around, you know,
8 what happens if we're really successful, say, with our
9 programs to get people to, you know, convert end-uses to
10 electricity, what the impact on the gas system is going to
11 be on that?

12 MR. COOPER: Yeah. I'm not the specialist in
13 this area, so I may call on Quentin, Nick Janusch, or one
14 of his team --

15 COMMISSIONER MCALLISTER: Okay.

16 MR. COOPER: -- if he wants to jump in. You
17 know, I would say that the decline is steady if you applied
18 those planning or local reliability scenarios to gas. You
19 know, it does displace a significant amount. The baseline
20 forecast was flat. The managed, quote, unquote, "managed
21 gas sales" were sort of like, you know, steadily declining.

22 COMMISSIONER MCALLISTER: Mm-hmm.

23 MR. COOPER: Yeah, in general, I think those are
24 also sort of the more mid-case scenarios. And I think, as
25 Ingrid and Ethan presented at the previous workshop, you

1 know, they had less conservative and even like very, very
2 aggressive scenarios for that substitution.

3 COMMISSIONER MCALLISTER: Mm-hmm.

4 MR. COOPER: I didn't put together charts with
5 those results --

6 COMMISSIONER MCALLISTER: Okay.

7 MR. COOPER: -- although we certainly could if
8 anyone's interested in that.

9 COMMISSIONER MCALLISTER: Yeah, just if either,
10 if Quentin or anyone else has anything to add there?

11 COMMISSIONER MCALLISTER: I'm sure like Quentin
12 and Nick are going to add here. I mean, I just want to
13 offer one consideration for us to think this through.

14 COMMISSIONER MCALLISTER: Yeah.

15 VICE CHAIR GUNDA: I think at a Commission level,
16 I think there has been a pretty solid concern around over-
17 investing in potential stranded assets on the natural gas
18 side.

19 COMMISSIONER MCALLISTER: The gas side.

20 VICE CHAIR GUNDA: And I think that's where
21 you're connecting to. I think that the question --

22 COMMISSIONER MCALLISTER: Yeah.

23 VICE CHAIR GUNDA: -- to borrow a phrase from the
24 petroleum side, like this kind of phase of transition has
25 both uncertainty and requires this dual investment. And I

1 think what is the right amount of investment seems to be
2 the question of the day and how best to articulate that.
3 But, you know, I just wanted to add that and pass it --

4 COMMISSIONER MCALLISTER: Yeah.

5 VICE CHAIR GUNDA: -- to Quentin.

6 COMMISSIONER MCALLISTER: Also, just to mention,
7 you know, the -- I guess it's AB 1221, I think, that
8 Commissioner Douglas is leading at the PUC, I know she's
9 not on to comment, but I want to just commend her and the
10 PUC on getting going with that and sort of really exploring
11 the possibilities around the gas system and sort of its
12 future and just kind of figuring out what the optimal path
13 there is in terms of investment.

14 MR. GEE: Yeah. All great points, Commissioners.
15 So, yeah, my name is Quentin Gee. I'm the Manager of the
16 Advanced Electrification Analysis Branch. We do the -- our
17 team does the additional achievable fuel substitution,
18 which is -- and additional achievable energy efficiency,
19 which is --

20 COMMISSIONER MCALLISTER: Yeah.

21 MR. GEE: -- responsible for much of the decline
22 in managed sales. So the AAEE, or additional achievable
23 energy efficiency, and AAFS, or additional achievable fuel
24 substitution, those are two load modifiers that are used
25 for, primarily for, electricity system planning to capture

1 different regulations, market transformations, types of
2 things that could occur in these spaces. They do have
3 implications for natural gas demand; right? So if, you
4 know, if there's, you know, 50 percent more heat pumps,
5 then there will be a lot less gas consumption; right?

6 So, yeah, we produce six scenarios for EE, for
7 AAEE, and six scenarios for AAFS, and those are used. We
8 are proposing using AAFS2 this year for the load modifiers,
9 so a little bit less aggressive in terms of the fuel
10 substitution that we expect. There are some implications,
11 you know, as Mathew showed and as we showed in our slides,
12 there are implications for overall gas system demand
13 associated with that. However, we
14 currently -- the gas demand implication, or the sort of
15 resulting gas demand, is not something that we currently
16 use for gas system planning. That's done by the natural
17 gas report.

18 COMMISSIONER MCALLISTER: Yeah.

19 MR. GEE: So, you know, it's a good balance;
20 right? Because if this electrification does emerge, so the
21 framework that we have for additional achievable is that
22 these are reasonable to occur. This does not mean these
23 definitely will occur. These are things to sort of build
24 in the sort of resiliency that we need for electricity
25 system planning. It may very well be that it does not

1 unfold exactly as expected, and so there could be gas
2 system impacts. So it's kind of like, you know, putting
3 your eggs in one basket or something to that effect.

4 So there is a balance to be struck here with
5 exactly what the implication is for gas system planning.
6 As we have more confidence and those things maybe can get
7 built in, you know, maybe there should be more of an impact
8 there when it comes to gas system planning. But at this
9 point in time, we're sort of using regulatory drivers and
10 market transformation, expected market transformation
11 impacts that still have a certain degree of uncertainty at
12 this point in time, but we think sufficient for system
13 electricity system planning.

14 COMMISSIONER MCALLISTER: Okay. Okay. That's
15 helpful. And obviously, much of this is PUC terrain, and I
16 don't want to, you know, I don't want to sort of tread too
17 heavily on that because rate making is, you know, sort of
18 the structure of capital investment and, you know, all the
19 operational challenges that the utilities face, the
20 investment utilities, and, you know, all of them, but the
21 big investments, certainly, that feeds into sort of the big
22 rate work that the PUC does.

23 But I did want to just look at slide eight real
24 quick and just recognizing these are in 2024 dollars, but
25 the upward tick in at least some of the average electricity

1 rate projections. And I think, you know, I've been saying,
2 I think many of my colleagues have been saying that, you
3 know, we're kind of in this messy middle where we're, on
4 the electric side, where we're maintaining a lot of older
5 investments and we're sort of building out furiously. And
6 so we have this agglomeration of costs that are sort of in
7 the near term, keeping rates a little bit elevated, but
8 that over time, we kind of get over that hump and things
9 start to decline as we sort of are able to retire the
10 older, you know, in many cases, more expensive
11 infrastructure, supply infrastructure.

12 So a little surprised that the out year is not
13 going down more than that. And I guess just invite any
14 comment on that and sort of how you're modeling that in the
15 out years.

16 MR. GEE: Yeah, so for AAFS2, the scenario we're
17 recommending for adoption, the adoption is not as
18 aggressive as we had last year, which was more associated
19 with a zero-emission appliance standard that would have --

20 COMMISSIONER MCALLISTER: Well, I guess, Quentin,
21 I'm just, I'm actually looking at slide eight --

22 MR. GEE: Oh, sorry.

23 COMMISSIONER MCALLISTER: -- Mathew's slide
24 eight, which is more of a general question about rates, not
25 particularly --

1 MR. GEE: Oh, okay. Let me --

2 COMMISSIONER MCALLISTER: -- not specific to the

3 load modifiers.

4 MR. GEE: Do we have slide eight available?

5 COMMISSIONER MCALLISTER: It's just the four, the

6 four, residential, commercial, industrial, ag. Let's see.

7 MR. GEE: Yeah, so we see, yeah, like you said,

8 that sort of hump. I believe Lynn Marshall could speak to,

9 yeah, that. Oh --

10 MS. MARSHALL: Yes.

11 MR. GEE: -- it's hard to see with the slides

12 that are online here versus the slides.

13 COMMISSIONER MCALLISTER: Yeah. Yeah.

14 MR. GEE: But Lynn can speak to the downward sort

15 of --

16 COMMISSIONER MCALLISTER: Yeah, Mathew's slide --

17 MS. MARSHALL: Right.

18 COMMISSIONER MCALLISTER: -- slide eight.

19 MS. MARSHALL: Yeah, and you're expecting, why

20 doesn't it go -- you know, we do have rapid growth in the

21 sales forecast, so why doesn't the rate forecast --

22 COMMISSIONER MCALLISTER: Yeah.

23 MS. MARSHALL: -- go down more?

24 COMMISSIONER MCALLISTER: Yeah.

25 MS. MARSHALL: We are including costs of --

1 COMMISSIONER MCALLISTER: Yeah, there you go.

2 MS. MARSHALL: -- data centers, costs of
3 distribution upgrades. We were using some studies on, you
4 know, the distribution level costs, very preliminary
5 estimates --

6 COMMISSIONER MCALLISTER: Mm-hmm.

7 MS. MARSHALL: -- of the transmission impact
8 costs of data centers. Those, both of those, could be
9 revised. Some could be revised downward. But, you know,
10 we are seeing just a lot of growth in distribution revenue
11 requirements in the near term. A lot of, you know,
12 additional spend because of wildfire mitigation.

13 COMMISSIONER MCALLISTER: Mm-hmm.

14 MS. MARSHALL: That's starting to slow. So you
15 see residential.

16 COMMISSIONER MCALLISTER: a little bit

17 MS. MARSHALL: If we looked at PG&E rates, you'd
18 see, you know, it's, you know, starting to dip a little
19 bit.

20 One note is that in this forecast, it did include
21 some updates for LADWP, notably, and some other POUs. And
22 the LADWP rate forecast is quite a bit higher because it's
23 reflecting their pending or proposed rates to implement
24 their LA100 plan. So that could, depending on what the
25 board adopts, could be lower.

1 But, yeah, with all of the spend that's planned,
2 in particular in the near term, to upgrade the grid, we
3 don't see rates declining like you might expect.

4 VICE CHAIR GUNDA: Lynn, can I just follow up on
5 that question? And just, I know that PG&E has been working
6 through Rule 30 for some of the data centers.

7 MS. MARSHALL: Mm-hmm.

8 VICE CHAIR GUNDA: Is that taken into account at
9 this moment? Are we still waiting for it to play out?

10 MS. MARSHALL: There was some very kind of rough
11 numbers that PG&E put out, and this was described at one of
12 the -- I discussed this at an earlier workshop, on sort of
13 what the cost per, you know, megawatt of the transmission
14 upgrades.

15 VICE CHAIR GUNDA: A gigawatt is like about a
16 percent; right? Yeah.

17 MS. MARSHALL: Yeah. And so based on that, I
18 built out transmission revenue requirements in there. It
19 could be on the high side; right? I didn't want to be, you
20 know, overly optimistic about what that would cost. But we
21 just don't have good data at this point. So, you know,
22 hopefully in the next, you know, year, two years, we'll
23 start to get out of Rule 30 and rate cases some, you know,
24 more hard data. That was a very preliminary estimate.

25 VICE CHAIR GUNDA: So, Lynn, maybe just one other

1 question and I'll pass it back to Commissioner McAllister.
2 And I see Commissioner Houck and Commissioner Baker might
3 have questions.

4 Just clarification. The Public Advocate's Office
5 does their work on the rate forecast and such. Are we kind
6 of consistent or departs? How do you see that?

7 MS. MARSHALL: Well, so what they have done is
8 their D-GEM model has been modeling the cost of
9 distribution upgrades to support, you know,
10 electrification, so we've been leveraging that. And they
11 have a new version out, so we'll use that for the next
12 cycle. They don't explicitly do a long-run rate forecast,
13 but we do use their analyses where we can.

14 VICE CHAIR GUNDA: All right. Thank you. Thank
15 you.

16 I'll pass it to Commissioner McAllister. And I
17 see Commissioner Houck's hand up too.

18 COMMISSIONER MCALLISTER: No, I think I'm good.
19 I appreciate your question about alignment with the Public
20 Advocate's Office of the PUC. And, yeah, I'll pass it to
21 our PUC colleagues.

22 Commissioner Houck?

23 COMMISSIONER HOUCK: Yeah. No, thank you. And
24 this may be more a PUC issue, but are you working with us
25 to look at, as we're going forward, especially into those

1 later years, how demand flexibility and real-time pricing
2 is, and just even more efficiencies? I know California's
3 bills have gotten higher, but overall we have more
4 efficiencies in our appliances and what we're doing. And
5 so bill impacts may be slightly different than rate
6 impacts, depending on how and when people are using
7 electricity. But how or are you able to or have you
8 incorporated potentially expanded use of demand side of
9 flexibility into the numbers here?

10 MS. MARSHALL: Yeah, that's not something we've
11 incorporated yet. You know, and obviously, we have a team
12 looking at flex strategies. It's not something that's firm
13 enough that we put in our forecast. But as those, you
14 know, policies and programs evolve, then we would want to
15 start including them in our forecast.

16 COMMISSIONER HOUCK: Thank you. That's helpful.

17 VICE CHAIR GUNDA: Commissioner Baker, did you
18 have a question or comment?

19 COMMISSIONER BAKER: Yeah, I have a dumb question
20 first on slide eight that was raised. I'm assuming those
21 are inflation adjusted numbers, not nominal numbers; is
22 that correct? That would make the most sense.

23 MS. MARSHALL: Yes, those are. Those are real.
24 Yes, it would look much worse if they were nominal.

25 COMMISSIONER BAKER: Yeah. And then the second

1 question on a little bit of a different matter is, you
2 know, in previous IEPRs, and really kind of in this one as
3 well, we're always kind of like a year out, a year or two
4 out kind of from more load growth. Is a lot of that -- and
5 I get there's a ton of uncertainty in that. But how much
6 of that is the result of behind-the-meter generation versus
7 load not necessarily materializing? And I'm not sure who
8 to direct that to, so --

9 VICE CHAIR GUNDA: I think Mathew will take that
10 probably as a starter.

11 MR. COOPER: Yeah, great question. You know,
12 we've been, some of our staff have been digging into sort
13 of reviewing past forecasts and thinking about that, and I
14 don't know if I have a definitive answer. I'd be nervous
15 to give a sort of black and white answer to that. I know
16 the thinking sort of nationwide is that we are sort of
17 turning a corner from the sort of recent decades of sort of
18 the impacts of energy efficiency, sort of the low-hanging
19 fruit has been gathered and consumption is expected to sort
20 of return to growth along with population economic growth.
21 If you're talking specifically about the last few years,
22 you know, there has been a lot of uncertainty, I would say.

23 So, yeah, I don't know if I have a great answer
24 to that, but I would open it up to any other staff who want
25 to comment.

1 VICE CHAIR GUNDA: Yeah, Mathew, maybe one piece,
2 and then kind of request others to add on too.

3 Commissioner Baker, I think one of the pieces
4 really, at least as I was working in the staff and then in
5 this role is COVID impacts were pretty crazy in kind of
6 adjusting both during and post. I think it's a significant
7 impact. I think that had a real impact on the household
8 flow, you know, whether it's economic demographic variables
9 have been very uncertain because of the, you know, post-
10 COVID era. And I don't think those metrics have really
11 stabilized yet. I think we still see that upward and
12 downward movement. And much of the forecast is dependent
13 on that Department of Finance's outlook on the economic and
14 demographic variables. And that has been a consistent
15 theme.

16 And to your point, I think the behind-the-meter
17 has been more adjustments towards more accuracy, you know,
18 in terms of kind of moving away from simulation data to
19 real data. That, I think, has been some material impact,
20 but I think the economic impact of post COVID and
21 reorganization of the global and national economy, I don't
22 think, has been fully baked into an equilibrium yet.

23 COMMISSIONER MCALLISTER: I wanted to jump in
24 here, too, just to the sort of interplay on the demand side
25 of efficiency and load flexibility. I think part of the --

1 you know, so Vice Chair Gunda, right on in terms of the
2 structural kind of shifts that are still rippling around,
3 you know, COVID and sector-specific forecasts, right,
4 between commercial and residential. You know, and it is
5 true that some of -- you know, that historically what we
6 relied on for energy efficiency savings have kind of played
7 out in the sense that like lighting technologies, that
8 market is fully transformed basically around LEDs. We see
9 a little bit of a tail still of implementation, but that
10 has been a radical improvement in efficiency across the
11 board. And so we've kind of harvested that piece.

12 But as we electrify, I think there's a great
13 opportunity to have, you know, the new electric loads in
14 buildings, at least in commercial, and to some extent in
15 transportation actually, too, but in buildings, certainly
16 residential, commercial, to build in a high level of energy
17 efficiency in say heat pumps and other end uses.

18 But also the modern energy efficiency, and I'll
19 probably sound like a broken record here, but modern energy
20 efficiency needs to include load flexibility integrally;
21 right? And I think that's a lot of what we're working on
22 at the Energy Commission is figuring out how best to do
23 that from the appliance level to the building level, you
24 know, on up to rates and sort of, you know, economic
25 response, you know, whether that's, you know, time-of-use

1 or real-time pricing or something between. So that
2 understanding is also evolving. And that deployment, the
3 development of programs and policies and sort of the
4 deployment of those, is also ongoing.

5 And so I think there is a fair amount of
6 uncertainty in the load flexibility side, but I'm, you
7 know, I'm definitely a glass half full on that front. I'm
8 definitely kind of optimistic in terms of the belief that
9 we will be able to find and implement solutions that'll
10 move the needle there.

11 So I want to just, you know, keep waving the flag
12 for energy efficiency in its modern iteration, which is
13 digitized and temporal to a greater extent than ever. And
14 I know Commissioner Houck and Commissioner Baker and others
15 at the PUC are also, you know, really leaning into that.

16 So more than a question, just a comment, but I do
17 appreciate the sort of additional context on the rates, the
18 average rate forecast and kind of the nuances of those
19 intermediate and out years.

20 Yeah, Commissioner McAllister, I think, you know,
21 just kind of adding a quick comment on this, I think for
22 our team, as we go into the final adoption here, I think
23 it'll be helpful, Mathew, to look at sector by sector
24 forecast and where the maximum deviation has occurred. Is
25 it the residential, commercial, transportation? I think

1 maybe it's all of it. You know, I think the rates have a
2 direct impact as well on the demand. I think it would be
3 helpful for us to get that.

4 The other kind of, you know, just a quick comment
5 on thinking through about this question, and I think it
6 goes towards, you know, the load factors. You know,
7 Commissioner McAllister, I think to your point, especially
8 the deviation between the transmission planning and the
9 distribution planning is kind of occurring at that local
10 capacity constraints, you know, and the changes in the load
11 factor at those meter level. And I think so many pieces
12 are evolving at the same time, and having a product that
13 serves those different needs in a composite, robust
14 fashion, I think is, again, a big gratitude to the staff,
15 but there's a lot of stuff that we have to continue to do.

16 COMMISSIONER MCALLISTER: Yeah, and to that
17 point, I'd love to interact with the utilities directly to
18 think about load factor, you know, really as a
19 representative metric of how optimally the existing network
20 is being utilized. And obviously that's got local
21 contextual nuance, and so there's not a sort of one-size-
22 fits-all, but I think that's what you're saying, Vice
23 Chair. And, you know, maybe there are places in that that
24 are sort of, we know we're going to have to upgrade those,
25 and that's going to be a big investment because they're

1 already loaded or overloaded and need replacement or
2 upgrade sort of ASAP or in the near term, but a lot of the
3 grid is going to have a lot of headroom that flexibility
4 can help us take advantage of. And so a load factor kind
5 of basic approach might, or at least, you know, analysis
6 through that lens might really reveal some tremendous
7 opportunities.

8 And I would love to have sort of a deeper dive
9 directly with the IOUs at least on that, so maybe we can
10 work with staff to get that rolling.

11 VICE CHAIR GUNDA: Yeah, thank you, Commissioner.
12 I think I totally agree with you. I think we are, I don't
13 know, probably about half an hour off, maybe a little bit
14 over, which is good. This means a really good discussion.

15 Heather, would you please advise us on how to
16 move forward here?

17 MS. RAITT: Yeah, so thank you. I think we
18 should just go ahead on to Nick, and we'll keep addressing
19 the Q&A with the written answers and some of the Q&A
20 questions that come up and are being answered in
21 discussion, so thank you.

22 VICE CHAIR GUNDA: Thank you. Awesome.

23 MR. FUGATE: So Heather, good morning, everyone.
24 So I'm Nick Fugate, Lead Analyst overseeing the CEC's Peak
25 and Hourly Demand Forecast, which is the focus of my

1 presentation today. I'll do a brief overview, discuss some
2 of the key components of the forecast and how they've
3 changed, and then I'll conclude with some high-level
4 results.

5 We can go to the next slide.

6 So Heidi touched on use cases already, but I'll
7 just add a little bit here. The hourly forecast, of
8 course, informs long-term electricity system and
9 reliability studies, IRP, CAISO's transmission planning
10 process. In the near term, it also informs resource
11 adequacy on the RA slice-of-day framework. There's a
12 benchmark for total system requirements at the -- you know,
13 for monthly peak days in the slice-of-day framework. And
14 CAISO's flexibility resource requirement study examines
15 maximum three-hour monthly ramps, which are taken from the
16 hourly. And then for the IOU planning area specifically,
17 our peak forecast is drawn directly from just the maximum
18 load in the hourly forecast.

19 Next slide.

20 So at the highest level, the forecast process, it
21 involves applying hourly profiles to individual components
22 of the annual energy forecasts. So this begins with a base
23 profile intended to reflect normal levels of end-user
24 electricity consumption for every hour over a typical year.
25 This base consumption profile is relatively static over

1 each year of the forecast, and it's meant to reflect
2 present-day patterns of end-user demand.

3 And then that consumption profile is scaled to
4 our annual consumption forecast with one caveat. Certain
5 high-growth elements of the forecast are first removed
6 because they exhibit a load pattern characteristically
7 different from the base profile. So these are the things
8 we've been calling load modifiers, climate change, vehicle
9 charging, behind-the-meter generation, building
10 electrification, data centers. These all have a unique
11 profile that is distinct from and then layered onto the
12 base profile to create the final hourly forecast. And it's
13 these load modifiers that cause the system profile to
14 evolve over time.

15 And then as a final step in our process, we
16 benchmark our forecast to our weather normal estimate of
17 annual peak load for the first year of the forecast. And
18 this involves stretching the consumption profile just a bit
19 to align the maximum hourly forecast of system load with
20 that weather normal peak estimate.

21 Next slide.

22 So what has changed from CED 2024? First, I'll
23 start with something that hasn't changed. We did not re-
24 estimate our base hourly consumption profiles this cycle.
25 And this was an intentional decision aimed at preserving

1 some stability along this dimension of the forecast. We
2 are applying that base hourly consumption profile to a
3 lower annual adjusted consumption forecast. So if you take
4 load modifiers out of the equation, our consumption
5 forecast is lower than the cycles.

6 We're benchmarking to a higher overall peak
7 starting point this cycle for the CAISO system. PG&E daily
8 peaks from this last summer have increased over last summer
9 in contrast to a years' long downward trend. Our weather
10 normal peak estimate for SDG&E is down a bit this cycle,
11 but that's mostly due to a bias correction we made to our
12 climate simulation data. We fully refreshed our additional
13 achievable efficiency and fuel substitution scenarios. We
14 do this over two years in alignment with the CPC's
15 potential and goal study. And we updated our data center
16 accounting with the latest utility information. And of
17 course, you've heard about the newly available known loads
18 data set and our corresponding impact analysis.

19 We're also proposing, we discussed this, but
20 we're proposing to revise our planning and local
21 reliability scenario definitions to reflect the more
22 conservative outlook around building and vehicle
23 electrification, and then also raising the prospect of
24 pulling the known loads impacts into the planning forecast.

25 Next slide.

1 So this is a bit of a rehash. I'm sorry, was
2 there a --

3 VICE CHAIR GUNDA: Yeah. So, Nick, this is Siva.
4 I just wanted to make sure, is there a definition of what a
5 planning forecast means that's -- I mean, is it -- I mean,
6 I know it's the most reasonable to occur is kind of one of
7 the things we talk about when we talk about forecast. When
8 we talk about planning forecast, is it about an agreed
9 forecast for a certain purpose or is it, you know, our best
10 reasonable estimate?

11 MR. FUGATE: Yeah, it's -- so the planning
12 forecast, I mean, I think it largely aligns with sort of
13 our most reasonable estimate of what system level loads
14 will do going forward. But, you know, the exact definition
15 of it is we develop it within our IEPR proceeding, right,
16 both in terms of the scenario definitions for our load
17 modifiers and then the selection. So that's sort of the
18 first step.

19 And then towards the tail end of that forecast
20 when we are deciding what our planning and local
21 reliability definitions will be, that is more about
22 discussions with stakeholders, especially CPUC and CAISO,
23 about what, you know, makes sense to use in the specific
24 studies that the planning forecast will inform, that the
25 local reliability forecast will inform. So that

1 determination is sort of made at the end.

2 And that's why this cycle has been sort of
3 unusual because we have this now, this new known load
4 information and impacts. And so, you know, we're having
5 these discussions at the very tail end of our process to
6 say, well, what do we want to plan for in these specific
7 use cases?

8 VICE CHAIR GUNDA: Great. Thank you, Nick.

9 MR. FUGATE: So I apologize, this slide is a
10 rehash of what Heidi and Mathew have already presented, but
11 I did want to show it just because the scenario names I
12 have listed here are the ones I'm going to be using
13 throughout my slides. So my charts I've labeled, anything
14 that I've labeled as simply planning, this refers to our
15 scenario as we originally defined it with mid-level
16 assumptions across the board, including additional
17 achievable electrification. And in this case, in that
18 original definition, we were not planning to include known
19 loads.

20 Same thing with local reliability. I'm referring
21 to our original definition, which has higher
22 electrification, lower efficiency, and known loads were
23 proposed to be included in that.

24 And then these other scenario labels are a little
25 clunky, but hopefully they're very descriptive. I meant

1 them to reflect exactly what is included. So planning, no
2 known, FS2, TE2, for example, is our planning forecast with
3 using Scenario 2 for fuel substitution and transportation
4 electrification rather than Scenario 3. And then known
5 loads are not embedded. Planning with known loads, FS2,
6 TE2, same thing except known loads are embedded. And then
7 local with known loads, FS3, TE3, represents that lower
8 level of electrification in our local reliability scenario.

9 Next slide.

10 So I'm going to start with load modifiers to give
11 some context for how things are moving before we get to the
12 overall results. My focus over these next several slides
13 will be on just the peak impact of key modifiers and how
14 they changed from last cycle.

15 I do want to emphasize that there's a lot of
16 great work from multiple teams that went into these load
17 modifier projections. That work has been presented in
18 detail over a series of meetings leading up to this one.
19 Heidi laid that out in her presentation. And I encourage
20 anyone who's interested in that detail to revisit some of
21 those presentations and recordings.

22 Next slide.

23 So here I'm showing the level of unadjusted
24 consumption for CAISO at hour 18 on the peak day of each
25 year of the forecast. I've restricted it to hour 18. My

1 next several charts will do the same thing but for
2 different load modifiers. But recall, unadjusted
3 consumption isn't a modifier, it's the level of consumption
4 once all of the load modifiers are removed from our
5 forecast. So at an annual level, this is mostly comprised
6 of our sector model output which is driven by econ/demo.
7 We then apply a base consumption profile which is meant to
8 reflect the present day behavior of the aggregate load.
9 And that gives us the 8760 profile that we layer the load
10 modifiers onto. And so it's the peak day hour 18 that I'm
11 pulling these series from.

12 So here you can see that the unadjusted
13 consumption at the system peak hour is roughly 600
14 megawatts higher than what we projected last cycle, and
15 that remains pretty consistent through the forecast. So
16 the change here is not any significant changes in the
17 underlying portion of the forecast, but really that higher
18 peak starting point that we're benchmarking to.

19 We'll go to the next slide.

20 This chart is showing the impacts of our
21 transportation electrification forecast in aggregate. So
22 baseline forecast for light-, medium- and heavy-duty
23 vehicles, as well as additional achievable scenarios for
24 each of those categories, that's all wrapped up here.

25 One of the impactful themes here is, which shows

1 through even in the aggregation, is deferred growth. So
2 with the move from AATE to AATE -- sorry, AATE3 to AATE2,
3 we see less growth in the early years of the forecast and
4 more aggressive growth later on. And this is especially
5 prominent in the additional achievable light-duty vehicle
6 forecast as well as the baseline medium- and heavy-duty
7 forecasts. And it's also worth noting that the AATE2
8 assumes no incremental growth in medium- and heavy-duty
9 vehicles beyond what's embedded in the baseline.

10 Next slide.

11 For fuel substitution, if we were comparing
12 Scenario 2 for this cycle to Scenario 2 from last cycle, we
13 would actually see significant increases in impacts driven
14 by codes and standards. The delta that we see here is
15 relative to last cycle and it's largely attributable to the
16 shift from Scenario 3 to Scenario 2 which has significantly
17 more conservative assumptions around the adoption of zero-
18 emission appliances.

19 Next slide.

20 In this cycle, we see a notable increase in the
21 magnitude of AAEE impacts in the later part of the
22 forecast, resulting in more downward pressure on load.
23 This is driven mostly by our updated codes and standards
24 analysis. There was an effort this cycle to align scenario
25 definitions across AAEE and AAFS, particularly in terms of

1 the level of certainty required for a particular measure to
2 be considered at each scenario level, which led to the
3 inclusion of more standards. There were also just more
4 appliance standards to model in 2025 than there were in
5 2023, and we improved our accounting of title 24 standards
6 such that first year impacts continue to accumulate further
7 into the forecast period.

8 Next slide.

9 We updated our data center analysis with the
10 latest utility data. Actually that's not true anymore. We
11 just recently received one more update from PG&E. It
12 hasn't been pulled into this analysis yet. It's not clear
13 that that will significantly move the needle. I think it
14 was mentioned earlier, some Category 2 projects will be
15 moving to Category 1, while other applications in Category
16 2 will be -- have been -- have dropped out. So to some
17 extent, those pressures will offset each other. In any
18 case, the final data center projections will change a bit
19 from what I'm showing here. And the significant increase
20 over the last cycle is attributable in large part to a
21 sizable project that we're now considering in Valley
22 Electric Association's territory.

23 Next slide.

24 And here's our known loads impacts. Again, this
25 is new product, which is why there's no scenario for CED

1 2024. Growth is substantial in the first couple years of
2 the forecast, reaching 4,000 megawatts by 2027, and then
3 quickly leveling off after that.

4 I do have to present these with that huge caveat
5 that this is our -- this was our initial path to developing
6 these estimates based off of energization dates in the
7 known loads data set as well as our initial assumptions
8 around ramp rates. And we've already received feedback on
9 that from PG&E and we'll be developing a revised version of
10 this assessment.

11 And then, you also heard, we uncovered some data
12 centers and transmission connected projects that should be
13 removed from the analysis. So we're continuing discussions
14 and soliciting feedback from other IOUs and we'll use this
15 new information to develop a revised set of impacts that
16 will be certainly lower than this.

17 I do want to make a couple more points on that,
18 so let's go to the next slide.

19 Okay, so for the known loads, we used the
20 information in the known loads data set to develop
21 estimates of annual energy resulting from these projects as
22 best we can. We then calculate the portion of that energy
23 that exceeds the year-over-year growth in our forecast, so
24 there was a lot of discussion about that already this
25 morning. And then when we talk about known loads being

1 added to the planning or local reliability forecast, it's
2 that incremental portion which gets added to our base
3 unadjusted consumption forecast. So implicitly, well, I
4 guess explicitly, it receives the base consumption profile.

5 Now, this is an example of what that looks like
6 for the SCE planning area peak day. Known loads will be
7 adding, at least for the summer months, more load in the
8 mid-afternoon than in the morning or evening.

9 Next slide.

10 But because it's a single aggregate profile that
11 we're applying to all of the annual energy for known loads,
12 any percent movement in that annual energy is going to
13 translate directly to the peak impacts. I borrowed this
14 slide from Heidi's presentation. This is the one where
15 she's showing the revised version of our annual energy for
16 PG&E known loads. It could look like the December update
17 includes the feedback from PG&E, as well as the removal of
18 duplicative or transmission-connected projects from the
19 data set.

20 So this is closer to what a revised version might
21 look like for annual energy. And you can see that in 2027,
22 for example, that cumulative energy is roughly half of what
23 the initial estimate was. So I just wanted to point out
24 that this would correspond to roughly a 50 percent
25 reduction in the peak impacts of known loads that I showed

1 on previous slides.

2 Okay. Next slide.

3 So that was a lot of individual load modifiers
4 here. I'm showing everything side-by-side so you can see
5 their relative impact. This chart shows the absolute
6 megawatt change of these modifiers from 2025 to 2045. This
7 is for all of CAISO. And we're looking, again, just at
8 September on the peak day restricted to hour 18. And these
9 are taken from our planning forecast with reduced
10 electrification and inclusion of known loads.

11 Our consumption forecast by itself without the
12 impacts of any of these modifiers grows a considerable
13 amount, about 5,700 megawatts over the forecast period.
14 Climate change, about 1,800 megawatts. Data centers
15 contribute nearly 4,500 megawatts. Known loads contribute
16 slightly more, 4,600. Vehicle electrification is still the
17 largest single category with light-, medium-, and heavy-
18 duty vehicle loads combining for over 8,000 megawatts.
19 Additional achievable fuel substitution accounts for
20 another almost 4,500. PV and storage adoption grows
21 substantially over the forecast period, but their impacts
22 at the peak hour are marginal, combining for about 1,500
23 megawatts of load reduction. And additional achievable
24 efficiency reduces load by almost 3,700 megawatts. So all
25 combined, it's a net increase of over 24,000 megawatts by

1 2045.

2 Next slide.

3 So with that in mind, let's look at the overall
4 forecast results.

5 Next slide.

6 Starting with the planning forecast, I'm showing
7 all the scenarios I've discussed so far, including the
8 planning scenarios originally defined. So before the
9 reduced electrification and known loads, that's the solid
10 blue line. And I was showing the planning scenario from
11 the previous image for comparison. That's the blue dotted
12 line. And you can see that before the reduced
13 electrification, our planning scenarios were quite similar
14 to last cycle, at least through 2035, at which point the
15 increased additional achievable efficiency impacts drive
16 our forecast down.

17 Then when we reduce electrification, so moving to
18 AAFS2 and AATE2, now we're looking at the orange line that
19 reduced electrification drives down load further,
20 particularly in the early part of the forecast. But
21 remember that transportation electrification is sort of
22 deferred by several years. We saw reduced growth in the
23 near term and increased growth in the latter part of the
24 forecast, so that counteracts the pressure from increased
25 efficiency driving the scenarios closer together as we move

1 further out. And then, of course, adding known loads,
2 which brings us to the red line, adds that significant
3 near-term increase, which remains relatively constant over
4 the forecast period.

5 We're starting at a weather normal peak of
6 approximately 46,500 megawatts. With reduced
7 electrification, the annual compound growth rate over the
8 forecast period is about 1.7 percent per year, that's
9 without known loads, or 2.1 percent per year with known
10 loads.

11 Next slide.

12 Here's a look at our local reliability forecasts.
13 The dashed blue line is last cycle's forecast. The solid
14 blue line is our original definition from this cycle. And
15 then the orange line is local reliability with reduced
16 electrification. In this case, we're moving from Scenario
17 4 for AAFS to -- sorry, Scenario 4 for both AAFS and AATE
18 to Scenario 3. And you can see that the change is not
19 nearly as impactful as moving from Scenario 3 to Scenario 4
20 like we did in the planning forecast. With reduced
21 electrification impacts and known loads, growth in the
22 local reliability scenario is about 2.4 percent per year.

23 Next slide.

24 For reference, here are the actual peak forecast
25 values for each of the three scenarios, the CAISO planning

1 with and without the known loads, and then the local
2 reliability, all with the reduced electrification.

3 What I want to note here is the timing of the
4 peak hour this still occurs in early September across all
5 scenarios and forecast years, and it still transitions from
6 hour 17 to hour 18. But that transition is happening a
7 little later in the forecast than it did last cycle.
8 There's a couple things going on here. One has to do with
9 our calibration to the annual peak. I mentioned earlier
10 that we have less annual energy in our unadjusted
11 consumption forecast and that we're calibrating to a higher
12 peak. So this stretches our consumption profile,
13 increasing those midday consumption hours a bit more than
14 the net peak hours. This means that it takes longer for PV
15 to push the net peak hour to 18.

16 Then on top of that, we also have slightly lower
17 PV adoption in the early years of the forecast. Then when
18 known loads are added because they follow that base
19 consumption profile, which peaks in the afternoon, that
20 transition occurs even later.

21 I'll also note that there's no transition to
22 winter morning peaks in any of these scenarios.

23 Next slide.

24 Here's an explicit look at that. The blue solid
25 line is the summer peak from the planning forecast this

1 cycle. We've excluded the known loads just to make it an
2 apples to apples comparison between vintages. The dotted
3 blue line is the summer peak from last cycle's planning
4 forecast. The solid red line is the winter peak from this
5 cycle. And the dotted red line is the winter peak from
6 last cycle.

7 So you can see that last cycle of the winter peak
8 overtook the summer peak at the very end of the forecast
9 period, right around 2042. And you can see that this cycle
10 with less aggressive building electrification impacts the
11 winter peak still growing at a faster rate, but even by the
12 end of the forecast period, it's about 5,000 megawatts
13 below the summer peak.

14 Next slide.

15 I said at the onset of this presentation that the
16 early forecast serves as a benchmark for slice-of-day
17 resource adequacy. This forecast specifically would inform
18 2027 RA obligations, so I'm showing here the change in the
19 planning forecast across all hours of the monthly peak day
20 in year 2027 between this cycle and last, specifically the
21 planning forecast without known loads but with reduced
22 electrification. So in this heat map, positive values
23 indicate that the forecast has increased in that hour
24 relative to last cycle's projection, and negative values
25 indicate that it has decreased. You can see for loads

1 occurring around the annual peak, we're actually in a very
2 similar spot. Not a lot of movement there.

3 Remember that our annual unadjusted consumption
4 forecast is down this cycle, so that net loss in annual
5 energy is absorbed by the lower load hours, which is why
6 you see reductions on the order of about 2,000 megawatts in
7 the early morning and late evening hours.

8 Next slide.

9 And here's that same chart, but this time I've
10 added the known loads to the planning forecast. You can
11 see now that hours that are close to the annual peak are
12 significantly higher by roughly 4,600 megawatts, and the
13 lower load hours see much less of a reduction, and in some
14 cases even a slight increase in load, so this chart
15 exaggerates the impact that known loads would likely have
16 after we've incorporated revised estimates, as I've
17 discussed. But I still wanted to show this chart, since
18 taken together with the chart on the previous slide, it
19 serves as a bookend for where these peak impacts will fall
20 if known loads are ultimately included in the planning
21 forecast.

22 Next slide.

23 I have a few charts now showing our non-
24 coincident peak forecast for individual IOU planning areas,
25 starting with PG&E. We have planning and local reliability

1 on the same chart this time. And in an effort to keep
2 things tidy, I've excluded our original definitions for
3 planning and local, so just showing the versions with
4 reduced electrification.

5 Again, the dashed lines here represent last
6 cycles, vintages. You can see the delta between planning
7 and local reliability is quite wider than it was last year,
8 especially without the inclusion of known loads in the
9 planning forecast. And you can see here we're starting
10 from a higher weather normal peak load than previously
11 forecast, about 20,700 megawatts in 2025. And the compound
12 annual growth rate in the planning forecast is about 2.2
13 percent without known loads, or 2.6 percent with known
14 loads. The PG&E planning area, on account of all the data
15 center loads, sees the highest growth of any IOU territory.

16 Next slide.

17 Similar story for SCE planning area. I'll just
18 note that we're starting from a weather normal peak of
19 about 23,600 megawatts, which is just slightly higher than
20 previously forecast. The compound annual growth rate in
21 the planning forecast is about 1.2 percent without known
22 loads, or 1.5 percent with.

23 Next slide.

24 So a few points to make about SDG&E. The weather
25 normal peak is lower than previously forecast. We're

1 starting at 4,236 megawatts. So I mentioned earlier, this
2 is owed in part to a correction we made to the data we used
3 for load simulation in the normalization process. I've
4 discussed this in previous cycles. Our overall method
5 hasn't changed. We're using downscaled climate simulations
6 localized to specific weather stations.

7 One of the stations we use for SDG&E had lengthy
8 periods of missing data, mostly at night. And we realized
9 this cycle that that was causing -- that was biasing the
10 localized data to be warmer. So we made a correction to
11 that that gave us the cooler set of temperatures for the
12 simulation.

13 SDG&E's known loads data didn't show the same
14 spike in 2025 energization requests. Their energization
15 dates centered around 2027. So the corresponding load
16 increase happens in 2028, roughly a 200-megawatt single-
17 year increase from concluding known loads.

18 Comparing planning forecasts between vintages,
19 growth is noticeably lower in the first half of the
20 forecast and much higher in the later years. This still
21 boils down to just decreased fuel substitution, increased
22 efficiency, and deferred transportation load. So SDG&E has
23 a lot of projected vehicle charging for its size, which is
24 assumed to happen largely overnight. In CED 2024, that
25 overnight charging happened earlier in the forecast and

1 competed with load increases from fuel substitution
2 happening at hour 18. The peak did eventually shift to
3 hour 24, but that happened late in the forecast after EV
4 load growth had slowed.

5 And this cycle's forecast reduced fuel
6 substitution and increased efficiency slowed that peak load
7 growth at hour 18, which causes the transition to an hour
8 24 peak to happen earlier in year 2039. And because that
9 deferred transportation growth is more aggressive later in
10 the forecast, so is the overall growth and peak.

11 Speaking of which, the compound annual growth
12 rate in the planning forecast is about 1.9 percent without
13 known loads and 2 percent with.

14 Next slide.

15 I think this is the first time I'm showing a peak
16 forecast for Valley Electric Association at one of these
17 workshops. VEA presented at one of our DAWG meetings
18 earlier this year, describing plans for a 1,600-megawatt
19 data center complex under development in their territory.
20 For many cycles, our forecast for VEA has been in the
21 neighborhood of 150 to 170 megawatts. But with the
22 inclusion of this data center load, along with a handful of
23 other known projects, our planning forecast for VEA
24 approaches 900 megawatts by 2035. Almost all of this load
25 exists in Nevada, but we still include it in our forecast

1 just to complete the CAISO outlook.

2 I do want to note that I'm revising the way that
3 VEA is captured in the hourly results files. So
4 previously, VEA's load had been a single column in the
5 CAISO hourly file. And going forward, I will post a
6 distinct set of forms, identical in format to the other TAC
7 area forms, that are specific to VEA and show the details
8 of these adjustments we're making.

9 Next slide.

10 So I'll finish just by reiterating our next
11 steps. We'll be docketing our draft hourly and peak
12 summary forms, hopefully within the next day. These forms
13 will reflect the forecast as I presented it today. Over
14 the next two weeks, we'll be implementing some of the
15 revisions we've discussed. We'll be continuing discussions
16 with utilities, CPUC, and CAISO, as well as considering any
17 public comments and feedback that we receive following
18 today's presentations. And we'll develop and post this
19 final set of results by January 9th, ahead of the January
20 21st business meeting, where we'll be asking for adoption.

21 And that's it for my presentation. Happy to take
22 comments from the dais.

23 VICE CHAIR GUNDA: Yeah, Nick, thank you. I
24 benefit from a lot of our conversations internally. I
25 think there are, and I think we've discussed, there have

1 been some concerns raised, I think, directly to the staff
2 and some of the Commissioner's offices on just kind of the
3 load impact from the known loads.

4 So I'm thinking more around, you know, for you,
5 especially the presentation, as you think about making
6 those edits, that could be a significant adjustment
7 downward; correct? So I think, you know, if that is a
8 significant piece, I know some of the concerns might be
9 alleviated just from that. Would really want to have the
10 opportunity for the process to play out, so we actually
11 have, you know, another public discussion about this.
12 Obviously, you know, if we work backwards from the business
13 meeting, it will be hard to do another, you know, item that
14 includes all of us.

15 But I want to really encourage a DAWG meeting you
16 know, I think as soon as the results are done, or even a
17 quasi-DAWG meeting, I don't know. I can see your face
18 changing, but I think, yeah, we need to do some sort of an
19 engagement that's -- you know, what I don't want is we put
20 the data out, so a lot of questions will not be able to
21 answer those in individual meetings, and, you know, we get
22 a lot of feedback at the business meeting. That will be
23 hard for Commissioners to sift through. So it would be
24 really helpful if we could have some sort of a convergence
25 on idea before we get to the business meeting.

1 I see Heidi coming on screen. She's going to
2 protect, shield you, Nick.

3 MR. FUGATE: You know, it wouldn't feel like the
4 holiday season if we weren't scrambling to schedule a last
5 minute DAWG meeting on the forecast.

6 VICE CHAIR GUNDA: Yeah, exactly.

7 Heidi, what do you think, Heidi? January?

8 MS. JAVANBAKHT: Yeah. Yeah, I think we could
9 fit one in probably that very first week of January. So I
10 do -- that January timeline is really driven by CAISO's
11 timeline for that. You know, they need our forecast by
12 mid-January to feed in some of their processes. So we
13 really don't have a ton of time in between this workshop
14 and mid-January to make changes, get all of those
15 implemented, and then have another meeting. But we will
16 look for a date, either very end of December or early
17 January, and get something on the calendar.

18 VICE CHAIR GUNDA: I'm going to take Nick's point
19 of view, and maybe not around Christmas Day, but kind of
20 this kind of thing.

21 So, yeah, I think, totally, first of all, I know,
22 I think, all humor aside, I know how hard this is on the,
23 specifically, the staff work on forecast. It all comes
24 down to this last few weeks of the year and around the
25 holiday season. I really appreciate, you know, the

1 difficulty of scheduling these meetings. But I think given
2 the number of changes we're going to have, and potential
3 swings of thousands of megawatts a year, I think it's
4 really important to have another touchpoint that's robust.

5 But if there's another way to do it other than a
6 DAWG meeting, I completely -- you know, it's at your
7 discretion, Heidi, but I think at least having one
8 touchpoint where the stakeholders and the team has a chance
9 to talk would be helpful, holistically. I think it's just
10 Nick's presentation would be special. It's the holiday
11 special.

12 And I'll pass it to Commissioner McAllister.
13 Thank you. No questions from me.

14 COMMISSIONER MCALLISTER: Thanks. Just, yeah, I
15 would elevate that conversation. We don't want to be
16 jammed around the business meeting. And maybe there's a
17 way to get the CAISO, the ISO the information it needs, but
18 still allow for some discussion. I hesitate to suggest
19 that we push the adoption out past the January meeting, but
20 anyway, maybe there's some flexibility. We should talk to
21 the ISO about sort of what they need specifically. But I'm
22 sure you're probably already having those conversations,
23 so --

24 VICE CHAIR GUNDA: Yeah, Commissioner McAllister,
25 I think, just, you know, we have another, the principals

1 meeting on the forecast --

2 COMMISSIONER MCALLISTER: Yeah.

3 VICE CHAIR GUNDA: -- the Executive Committee. I
4 think we'll have some. And I think it's really around what
5 I'm seeing here is the known loads of the known loads once
6 we make the adjustments; right? I think it's really about
7 how much of that really translates to RA --

8 COMMISSIONER MCALLISTER: Yeah.

9 VICE CHAIR GUNDA: -- and what rate does that
10 translate to. And I think that's a decision we need to
11 think through. And I think, you know, the reason I was
12 asking about the planning forecast definition is what I do
13 not want to deviate from is the methodological consistency
14 of having the technical team at the CEC put forth their
15 best reasonable idea of what the forecast is going to look
16 like.

17 And I think then kind of comes these different
18 variants of the forecast for different purposes. And I
19 think if the question is around the RA, you know, I think
20 we should, you know, we should construct, maybe there's a
21 way to -- for CAISO to have a variant of the forecast that
22 we don't expect to change. You know, so we should just
23 think that through, and I think it'll evolve over the next
24 couple of weeks.

25 COMMISSIONER MCALLISTER: Yeah. And I mean,

1 obviously, we have to be in a position where we can adopt,
2 where we can agree across the agencies on the set --

3 VICE CHAIR GUNDA: Yeah.

4 COMMISSIONER MCALLISTER: -- the forecast set.

5 And so --

6 VICE CHAIR GUNDA: And I see the concern from
7 CAISO side and the distribution side. You have two
8 infrastructure-related planning activities that really need
9 to be able to have that load in there, so for long-term
10 planning. And I also see the need for resource adequacy to
11 not unreasonably grow, you know, from year to year. That
12 could, especially in a market that's tight, that could
13 really impact the RA prices. So I think it's a delicate
14 balance to think it through.

15 COMMISSIONER MCALLISTER: Yeah.

16 VICE CHAIR GUNDA: But I think, I just, for the
17 sake of reiterating, what I don't want the technical team
18 to be caught off is to be able to have the opportunity to
19 be able to put their best reasonable estimate of the
20 forecast, regardless of which variant we use for what. So
21 I think that's --

22 COMMISSIONER MCALLISTER: Yeah.

23 VICE CHAIR GUNDA: -- that's helpful. And
24 Nick --

25 COMMISSIONER MCALLISTER: Of course.

1 VICE CHAIR GUNDA: -- we'll make sure we'll buy a
2 few meals for you as you work through this week, you know,
3 and the next week, so thank you.

4 COMMISSIONER MCALLISTER: We'll send a few Red
5 Bull, a few Red Bulls here and there.

6 So I did want to just mention, you know, I really
7 appreciate the presentation, particularly some of the
8 visuals, Nick. And the money shot kind of, in some ways,
9 from my perspective, is your slide 15, where you've got the
10 additions and subtractions and sort of, you know, up to
11 something less than 30 gigawatts by (indiscernible), I
12 think it was. And so I really appreciate that. And I'd
13 love to have the next iteration in this conversation as
14 played. I really think that's an important message to, you
15 know, our sophisticated stakeholders about like what's
16 driving all this, and here's how it ends up and some drags
17 off. So I really appreciate that. Would love to just
18 keep, you know, keep fingers on the pulse of how this goes
19 as you get -- as you incorporate the new data from
20 utilities.

21 And then also on slides 21 and 22, and that's
22 sort of the heat map of the changes, again, just as those
23 evolve and probably become somewhat mitigated with the new
24 information coming in, we talk about sort of presentation
25 and tailoring those a little bit, but we won't want to do

1 that because we don't have much time. But just, you know,
2 let's keep in touch. And I want to make those as
3 communicative as possible for messaging, you know,
4 outwardly once we're comfortable with the results. I think
5 that will be super helpful for me and, I'm sure, my
6 colleagues.

7 VICE CHAIR GUNDA: Commissioner McAllister, your
8 voice is coming a little light --

9 COMMISSIONER MCALLISTER: Oh.

10 VICE CHAIR GUNDA: -- broken. I don't know if
11 that's consistent for others too.

12 COMMISSIONER MCALLISTER: Oh, sorry about that.

13 VICE CHAIR GUNDA: We can't hear you, or I can't
14 hear. Maybe it's my tech.

15 Nick, can you give me a thumbs up?

16 MR. FUGATE: No, I, well, I can't hear
17 Commissioner McAllister now, but -- and he was coming in
18 low before, but I did take his points about refreshing
19 those charts and using them to communicate the impacts as
20 efficiently as we can.

21 VICE CHAIR GUNDA: And Commissioner McAllister,
22 maybe we just come back to you. Commissioner Houck came on
23 video too.

24 Commissioner Houck, anything from you?

25 COMMISSIONER HOUCK: Can you hear me?

1 VICE CHAIR GUNDA: Yeah.

2 COMMISSIONER HOUCK: No, I just really appreciate
3 the presentation. And I'm going to go back through and
4 look at the slides and really want to keep continuing this
5 discussion and looking at how this overlaps with what we're
6 doing, both on the distribution planning and just what
7 we're anticipating for what this means for some of our
8 infrastructure upgrades and data as we're looking at what
9 data we need to make sure we're implementing the right
10 policies. So I just really appreciate the presentation.

11 VICE CHAIR GUNDA: Thank you, Commissioner Houck.
12 Commissioner McAllister, do you want to try
13 again?

14 COMMISSIONER MCALLISTER: That seemed to work.
15 Can you hear me? Okay, great. Yeah, sorry. I've been on
16 so many calls, my primary ear buds have conked down on me.

17 So, yeah, I was just sort of saying that, you
18 know, as the visuals evolve, I think there's a real
19 opportunity to improve sort of outward communication for
20 all of us, not just me but for our colleagues who -- we're
21 all out there giving sort of the view of, you know, the
22 status quo and, you know, state of the state in terms of
23 where we are with, you know, reliability and evolution of
24 energy demand. And so it will be nice to, like your slides
25 15 and 21, 22, you know, the heat maps that those -- as

1 those settle, you know, with the new information and you
2 complete the analysis, I'd like to keep in good touch about
3 how those can be most impactful.

4 VICE CHAIR GUNDA: Thank you, Commissioner
5 McAllister.

6 COMMISSIONER MCALLISTER: Yeah. Yeah, thanks a
7 lot.

8 VICE CHAIR GUNDA: Can I -- Heather, how do we
9 want to do the next steps? I think maybe we just want to
10 go to the public comment, Heather.

11 MS. RAITT: Yeah, I think we can just go. We've
12 been typing in answers to the written Q&A, so let's go to
13 public comment.

14 So folks that do want to make public comment, if
15 you can press the raise-hand function to let me know or to
16 let us know. And we'll limit comments to three minutes per
17 person and one person per organization, please. And when
18 we call on you, just unmute your line. And if you could
19 identify yourself and who you're representing, if anybody,
20 and spell your name for the record, that is appreciated.

21 So let's see. Sorry here. First person is from
22 PG&E, and I'm sorry, I'm not going to be able to pronounce
23 your name. Yu Zhang, go ahead. You need to unmute on your
24 end.

25 Okay, next, let's just move on to Andrew Mills.

1 Go ahead, Andrew.

2 MR. MILLS: Good afternoon. I'm Andrew Mills,
3 A-N-D-R-E-W M-I-L-L-S. I'm the Director of Data Analytics
4 for the California Community Choice Association. And Cal-
5 CCA represents 24 community choice aggregators throughout
6 the state of California.

7 We really appreciate the time and effort that the
8 Commission puts into developing the demand forecast each
9 year, and really the responsiveness of staff to questions
10 and suggestions. And so I'll just use our comments to
11 highlight the different ways that the IEPR Forecast is
12 used, and the importance of incorporating assumptions that
13 are really consistent with that use.

14 So the planning forecast is used to set resource
15 adequacy requirements for load serving entities, and to
16 identify resource needs in the integrated resource planning
17 process. And so assumptions in the planning forecast
18 should be consistent with the, really, the systemwide
19 impacts, and account for any coincidence and diversity in
20 loads.

21 On the other hand, the local reliability forecast
22 is used more in the distribution and transmission planning,
23 where it's appropriate to consider peak non-coincident
24 demand in specific locations. And from our understanding,
25 the known loads represents really engineering estimates of

1 peak non-coincident demand at specific locations and,
2 therefore, it's appropriate for the local reliability
3 scenario. But we're not in support of including the known
4 loads in the planning scenario. Putting known loads into
5 the planning scenario can really increase resource adequacy
6 requirements and costs for load serving entities, even if
7 those loads don't result in a system wide need for more
8 generation resources.

9 And furthermore, we're just suggesting really a
10 phased approach to incorporating the known loads into the
11 forecast as that data collection process continues to be
12 developed and refined. The recent find that there was as
13 much as 1,500 megawatts of duplication between the known
14 loads and the data centers, the discussion on the
15 interaction between the economic and demographic forecast,
16 and then this question of what rate the backlog can be
17 processed, all really support this idea of doing a phased
18 approach to known loads.

19 We also see the planning forecast should, in our
20 minds, be an accurate reflection of, really, the expected
21 load in future years. And along those lines, that recent
22 withdrawal of federal policy support for electric vehicles
23 and building electrification warrants the Commission's
24 proposed modification to the EV and fuel switching forecast
25 scenarios for the planning scenario. And we support

1 revisiting these scenarios in future forecast vintages as
2 more data on the effect of these federal policy changes on
3 customer adoption as new technologies becomes available.

4 And finally, an accurate representation of the
5 data centers in the planning forecast requires increased
6 vetting of the data center applications. And we just
7 encourage some skepticism on applications until greater
8 data center transparency allows for sufficient vetting.
9 The CCAs will continue to work with the CEC, with the
10 Public Utilities Commission, and the investor-owned
11 utilities to develop a process where CCAs can use their
12 local insight to validate information about the status and
13 progress of data center development in their regions.

14 Thanks.

15 MS. RAITT: Great. Thank you.

16 And we'll move on to the next hand up. And I'll
17 also just mention that if you're on the phone and you
18 wanted to make comments, you can press star nine, and that
19 will let us know.

20 So moving on to Claire Huang. Please go ahead.

21 MS. HUANG: Hi. Can you hear me? Okay.

22 VICE CHAIR GUNDA: Yes. Yes.

23 MS. HUANG: All right, great. Yeah. Hi,
24 everyone. Good afternoon. Claire Huang on behalf of Ava
25 Community Energy. We are a community choice aggregator

1 that serves Alameda County and Stockton and Lathrop
2 (phonetic), soon to expand to unincorporated San Joaquin
3 County.

4 I just wanted to make a couple of comments on the
5 data center forecast, as well as the known loads on data
6 centers, sort of echoing what Andrew Mills just said, but
7 we want to be able to accurately reflect data center load
8 growth within PG&E service territory and specific to Ava
9 service territory, but wanted to flag that we lack ways to
10 verify the certainty of the data center applications. And
11 we look forward to working with the CEC, as well as the
12 PUC, working through those barriers.

13 On the known loads forecast, echoing comments
14 from Vice Chair Gunda and Commissioner McAllister, that the
15 forecast seems high and we need to consider really what's
16 realistic to energize within one year. And we also are in
17 support of either excluding the known loads from the
18 planning forecast or including a lower forecast or a
19 forecast with a longer ramp.

20 And I had a question in the Q&A about feedback on
21 an updated forecast based off of the adjustments to the
22 known load and the data center forecasts. And I'm hearing
23 that there will be a DAWG meeting scheduled for January, so
24 I'm in support of that as well.

25 Thank you.

1 VICE CHAIR GUNDA: Heather, you're muted.

2 COMMISSIONER MCALLISTER: I think you're muted,
3 Heather.

4 MS. RAITT: Sorry. Okay. Thanks, Claire.

5 Next is Josh Harmon. Go ahead.

6 MR. HARMON: Josh Harmon, PG&E. Just
7 wanted to say that we really appreciate all the engagement
8 and the communication from the CEC, from Heidi, from Nick,
9 throughout this whole year. I know that we all know how
10 complicated this process is. And we have a side chat going
11 with our entire Forecasting Team right now. Everyone's
12 been trying to dig through the same issues that you all
13 have been trying to dig through, especially around data
14 centers, around known loads. And we really look forward to
15 being able to have these candid conversations with all the
16 stakeholders here. So looking forward to more of it.

17 And apologies to the Forecasting Team for having
18 to put together a DAWG meeting in January, but we're
19 looking forward to engaging. Thanks.

20 MS. RAITT: Great. Thanks, Josh.

21 So just another call for -- if anybody else
22 wanted to make comments, you can press the raise hand, or
23 if you're on the phone, press star nine, and that will let
24 us know. I'll give it another moment, but I am not seeing
25 any more comments, so I think that ends the public comment

1 period.

2 And I'll turn it back to you, Vice Chair.

3 Thanks.

4 VICE CHAIR GUNDA: Yeah, Heather, thank you so
5 much. And thank you for all the comments that were just
6 provided. You know, totally really hear the comments and
7 the importance of, you know, making sure these have --
8 these do not have unintended consequences on a lot of
9 different elements of our planning process. So, yeah, I
10 think there's a lot more work to do. You know, also
11 recognize the data quality and data gaps and how to improve
12 them. So really, thank you for all the comments.

13 I really want to uplift the staff for their
14 excellent work and hard work this year and continued hard
15 work and their openness to constantly review and revise the
16 methodologies to ensure the highest levels of integrity and
17 credibility in the methodology. So just thank you, team.
18 And again, to take one from Josh, just say, you know, sorry
19 that we'll have to do another DAWG meeting, but I think it
20 will serve us well to get one more shot at the comments
21 before we move forward on this.

22 And, you know, just all the stakeholders, thanks
23 for your participation throughout the year. I think we say
24 this many times, but want to uplift that the CEC, not just
25 at the forecast, but the processes are only as good as the

1 participation and your input and your time. So thank you
2 so much for all that and, you know, keeping, you know, our
3 time open here to make sure that we make the necessary
4 changes as we move forward into the next 45 days before we
5 adopt the forecast -- or 30 days.

6 And with that, I will pass it to Commissioner
7 McAllister, and then, Commissioner Houck, if you have any
8 closing comments.

9 COMMISSIONER MCALLISTER: Thanks, Vice Chair
10 Gunda.

11 Yeah, the challenge of sort of capturing the
12 last, you know, peak season through the fall and then sort
13 of getting ready to allow the planning to happen for the
14 next peak, it's just really an all hands on deck cycle. So
15 just want to acknowledge the pressure the staff is under
16 and try not to increase that, but also make sure they have
17 the tools to get a quality outcome that's up to date. And
18 just noticing that December 31st is the comment deadline,
19 which I think I'll just apologize for that. Maybe we can
20 be a little flexible. I don't know.

21 VICE CHAIR GUNDA: Do we want to do January 1st,
22 Commissioner, or -- I'm just kidding.

23 COMMISSIONER MCALLISTER: I don't know what the
24 optimal is, but maybe people want to get this off their
25 plate before the end of the year. Who knows? But I just,

1 yeah, I want to just --

2 VICE CHAIR GUNDA: Can we just ask Heather,
3 Commissioner, while you're thinking about that, Heather,
4 could we extend that to the 4th or so?

5 MS. RAITT: That's certainly your prerogative. I
6 know, you know, we were just trying to be mindful --

7 COMMISSIONER MCALLISTER: Sooner.

8 MS. RAITT: -- of trying to get the input before
9 for adoption. But yeah, of course, it's --

10 COMMISSIONER MCALLISTER: Sooner is better. But,
11 yeah --

12 MS. RAITT: If that's better?

13 COMMISSIONER MCALLISTER: -- it's tough over the
14 holidays.

15 MS. RAITT: Yeah, I totally get that.

16 VICE CHAIR GUNDA: We'll do two deadlines, the
17 first one and then an opportunity.

18 COMMISSIONER MCALLISTER: Yeah, we really
19 encourage people even sooner than the 31st just to sort
20 of --

21 VICE CHAIR GUNDA: Yeah.

22 COMMISSIONER MCALLISTER: -- help us, you know,
23 help staff get everything incorporated. But I just really
24 want to thank, you know, you, Heather, and your team and
25 the staff and the presenters, obviously, with all the

1 massive like teams behind them, really great update, and,
2 you know, with, I think, a lot of clarity on the
3 uncertainty; right? Because that's a key piece of all this
4 is how the uncertainty propagates and how we try to
5 minimize it, but also just the character of it. So really
6 appreciate staff and our colleagues at the PUC. And just
7 thank you so much for being with us and helping make sure
8 we have that shared DNA and understanding that helps cross-
9 agency planning.

10 And then thanks, Vice Chair Gunda, for all your
11 leadership on the forecasts throughout the year. Just
12 really appreciate you.

13 And then finally, just I think we had a peak of
14 mid-200s in terms of attendance today, which is great. And
15 a lot of thoughtful stakeholders who we really appreciate
16 when you chime in. And as Vice Chair said, that's really
17 kind of the materia prima of many of our processes,
18 including the forecast. So thanks a lot. And particularly
19 our utilities and CCAs, just their engagement is critical
20 to getting the right information.

21 So anyway, I'll end there and pass the mic to
22 Commissioner Houck.

23 COMMISSIONER HOUCK: Thank you. No, I just want
24 to also join in and thank the staff for all of their work.
25 This is really critical work. And there's so many missing

1 pieces and a lot of really complex, difficult information
2 to work through. And so really appreciate all of the work
3 you've done, the workshops that the CEC has put on,
4 Heather's team, and the partnership that we have with the
5 CEC, with you, Vice Chair Gunda and Commissioner McAllister
6 and all of your colleagues on the Commission. And
7 appreciate the opportunity to hear firsthand from your
8 staff on the information and to continue these discussions.
9 So thanks for including us.

10 VICE CHAIR GUNDA: Thank you, Commissioner Houck.

11 And I think, Heather, just to kind of put a pin
12 on the agreement, I think we'll just leave it at 31st and
13 welcome people to provide comments. I think, you know,
14 just encouraging everybody to provide comments as early as
15 they're able to.

16 Yeah, thank you all.

17 Heather, if you have any closing comments,
18 otherwise we are adjourned.

19 (The workshop adjourned at 12:11 p.m.)
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 24th day of February, 2026.



ELISE HICKS, IAPRT CERT**2176

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

February 24, 2026