

BEFORE THE
CALIFORNIA ENERGY COMMISSION

DOCKET
11-IEP-1N

DATE APR 28 2011

RECD. MAY 23 2011

In the matter of,)
)Docket No.11-IEP-1N
)
IEPR Committee Workshop on Energy)
Storage for Renewable Integration)

IEPR Committee Workshop
Energy Storage for Renewable Integration

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

MONDAY, APRIL 28, 2011
9:30 A.M.

Reported by:
Kent Odell

COMMISSIONERS

Robert Weisenmiller, Chair and Presiding Member
Karen Douglas, Associate Member
Carla Peterman, Associate Member

STAFF

Suzanne Korosec, IEPR Lead
Jim Bartridge, Advisor to Carla Peterman
Eileen Allen
Paul Feist, Advisor to Karen Douglas
Mike Gravely
Avtar Bining

PRESENTERS (*Via WebEx)

Ethan Elkind, UC Berkeley
Byron Washom, UC San Diego
Michael Colvin, CPUC
Mark Rothleder, CAISO
Michael Kintner-Meyer, U.S. DOE

PANEL 1

Amanda Stevenson, Xtreme Power (CESA)
Mark Rothleder, CAISO
Dan Rastler, Electric Power Research Institute

PANEL 2

David Nemptzow, Ice Energy (CESA)
Dave Hawkins, KEMA Inc.
Dan Rastler, EPRI
Doug Devine, Eagle Crest Energy
Michael Kintner-Meyer, U.S. DOE
John Bryan, Fleet Energy Company
Matt Stucky, Abengoa Solar
David Ashuckian, CPUC, Division of Ratepayer Advocates

PANEL 3

Mark Irwin, Southern California Edison
Antonio Alvarez, PG&E
Mike Turner, SDG&E
Mark Rawson, SMUD
Mohammed Beshir, LADWP
Michael Colvin, CPUC

ALSO PRESENT

Dan Watkins, LBNL, Demand Response Research Center
Lon House, Professor
Alfonso Baez, SCAQMD
Ed Stockton, Hydrogen Technologies, Inc.
Billy Powell, Local 684, Central Valley Elec. Workers
Bill Taylor, Central Valley Plumbers and Pipe Fitters
Harold Gottschall, Technology Insights, on behalf of
NGK Insulators
Amber Riesenhuber, Independent Energy Producers
Association
Craig Horne, EnerVault Corporation
R.J. Shims
Rick Winter, Primus Power
Stacey Reineccius, Light Sale Energy

INDEX

	Page
Introduction	
Suzanne Korosec, IEPR Lead	7
Opening Comments	
Chair Robert Weisenmiller, Presiding Member	10
Commissioner Karen Douglas, Associate Member	11
Presentations (*Via WebEx)	
Workshop Overview - Energy Storage for Renewable Integration	
Mike Gravely, Energy Commission	11
Strategic Analysis and 2020 Energy Storage Vision for California	
Ethan Elkind, University of California, Berkeley	15
Byron Washom, University of California, San Diego	21
CPUC's AB 2514 Energy Storage Systems Proceeding - An Update	
Michael Colvin, California Public Utilities Commission	30
Energy Storage for Managing the California Grid and Integrating 33% Renewables	
Mark Rothleder, California Independent System Operator	44
Federal Perspective of Energy Storage and its Role in the Energy System	
Michael Kintner-Meyer, for Imre Gyuk, United States Department of Energy	63

INDEX (Continued)

	Page
PANEL 1: Need for Energy Storage (Renewable Portfolio Standard, AB 32 Greenhouse Gas Reductions, Smart Grid and Demand Response) Moderator - Mike Gravely	
Amanda Stevenson, Xtreme Power (California Energy Storage Alliance)	82
Mark Rothleder, California Independent System Operator	92
Dan Rastler, Electric Power Research Institute	93
<p><i>How can Energy Storage help California achieve the Renewable Portfolio Standard?</i></p> <p><i>How will Energy Storage help California achieve AB 32 Goal?</i></p> <p><i>How can distributed energy storage be used to help California achieve its future energy goals?</i></p> <p><i>What can be done to better define the role of energy storage in the California Grid of the future?</i></p> <p><i>What can be done to support the implementation of the Assembly Bill 2514 Energy Storage development, demonstration, and deployment plan activities?</i></p>	
PANEL 2: Energy Storage Applications and Economics (Costs, Benefits and Revenue)	
*David Nemptzow, Ice Energy (California Energy Storage Alliance)	109
Dave Hawkins, KEMA Inc.	119
Dan Rastler, Electric Power Research Institute	127
Doug Divine, Eagle Crest Energy	134
Michael Kintner-Meyer, U.S. Department of Energy	137
John Bryan, Fleet Energy Company	141
Matt Stucky, Abengoa Solar	145
David Ashuckian, CPUC	152

INDEX (Continued)**Page**

What are the cost estimates for the increased use of energy storage?
How can the benefits of energy storage best be quantified?
What revenue mechanisms are available to ensure energy storage plays the appropriate role in the California grid of the future?
What will be the specific economics and cost-benefit data that needs to be developed to support the implementation of the Assembly Bill 2514 Energy Storage development, demonstration, and deployment plan activities?

PANEL 3: Utilities' (Investor and Publicly Owned) Perspective of Energy Storage

Mark Irwin, Southern California Edison	161
Antonio Alvarez, Pacific Gas and Electric	170
Mike Turner, San Diego Gas and Electric	172
Mark Rawson, Sacramento Metropolitan Utility District	177
Mohammed Beshir, Los Angeles Department of Water and Power	182
Michael Colvin, California Public Utilities Commission	185
<i>How does the role of energy storage differ from the utility or market perspective?</i>	
<i>Who should own grid connected energy storage?</i>	
<i>How will the utilities implement the Energy Storage development, demonstration and deployment plan for meeting the AB 2514 requirements?</i>	
Public Comments	199

Next Steps for Developing Recommendations on Energy Storage

Mike Gravely, Energy Commission	230
Adjournment	232
Certificate of Reporter	233

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 P R O C E E D I N G S

2 APRIL 28, 2011

9:36 A.M.

3 MS. KOROSEC: All right, if everyone can take
4 your seats, we're going to go ahead and get started.
5 Good morning, everyone, I'm Suzanne Korosec and I manage
6 the Energy Commission's Integrated Energy Policy Report
7 Unit.

8 Welcome to today's Workshop on Energy Storage
9 for Renewable Integration. This workshop is being
10 conducted by the Commission's Integrated Energy Policy
11 Report Committee.

12 Before we get started, I just want to cover a
13 few brief housekeeping items. For those of you who may
14 not have been here before, there are restrooms out the
15 double doors and to your left. There is a snack room
16 where you can get coffee on the second floor of the
17 atrium, at the top of the stairs, under the white
18 awning. And if there is any kind of emergency and we
19 need to evacuate the building, please follow the staff
20 out the building to the park that's diagonal to the
21 building and wait there until we're told that it's safe
22 to return.

23 Today's workshop is being broadcast through our
24 WebEx Conferencing system and parties need to be aware
25 that we are recording the workshop. We will make an

1 audio recording available on our website within a couple
2 of days of the workshop, and we'll also make a written
3 transcript available within about two weeks.

4 In terms of how today's topic fits within the
5 2011 Integrated Energy Policy Report, one of the Energy
6 Commission's top priorities this year is to evaluate
7 strategies and technologies that will support
8 achievement of the goals in Governor Brown's Clean
9 Energy Jobs Plan, which, among other things, include
10 adding 20,000 megawatts of new renewable generating
11 capacity in California and accelerating the development
12 of energy storage.

13 The Governor's plan emphasizes that energy
14 storage will help reduce the need for peaker plants and
15 for imports from out-of-state coal plants, and will also
16 help smooth out the variable renewable power such as
17 wind and solar.

18 As part of the 2011 IEPR, the Energy Commission
19 is developing a strategic plan for increasing renewable
20 generation and transmission infrastructure in
21 California. That document will discuss challenges to
22 meeting the Governor's renewable energy goals and
23 provide suggested strategies to address those
24 challenges. As we're all well aware, energy storage is
25 one of a suite of strategies that can support

1 integrating high levels of renewables, while maintaining
2 system reliability.

3 We're looking to all of you today to help us
4 develop specific near-term, mid-term, and long-term
5 strategies that will ensure that we have the amount of
6 cost-effective energy storage that we'll need to support
7 California's renewable energy goals, while maintaining
8 system reliability.

9 We have a very full agenda today. This morning,
10 we'll hear from several speakers from universities and
11 State and Federal energy agencies, followed by a panel
12 discussion on the need for energy storage to meet
13 California's energy and environmental policy goals.
14 We'll break for lunch around 12:30, depending on how the
15 morning's discussions go, and then we'll reconvene after
16 lunch with a panel on Energy Storage Applications and
17 Economics, followed by our last panel on Utility
18 Perspectives.

19 We'll round out the day with an opportunity for
20 public comments. During the public comment period,
21 we'll take comments first from those of you who are here
22 in the room, followed by comments from those
23 participating on WebEx. For those of you in the room
24 who wish to speak, it's helpful if you can fill out a
25 blue speaker card, which our System Public Advisor,

1 Lynne back there has in her hands, and you can either
2 give those to me or to Avtar Bining, who is our Staff
3 Coordinator for this workshop. When it is time to
4 speak, it is helpful if you can give the Court Reporter
5 your business card and also come up to the center podium
6 and use the microphone so that the WebEx participants
7 can hear you.

8 For WebEx participants, you can either use the
9 chat or raised hand functions to let the WebEx
10 Coordinator know you have a question or comment, and
11 we'll open your line at the appropriate time. For those
12 participating only by phone and not through the WebEx
13 system, we'll also open the lines at the very end of the
14 public comment period to give you an opportunity to ask
15 questions.

16 We are accepting written comments on today's
17 topics until close of business May 11th, and the notice
18 for today's workshop, which is available on the table in
19 the foyer and also on our website explains the process
20 for submitting comments to the IEPR docket. And with
21 that, I'll turn it over to the dais for opening remarks.

22 CHAIRMAN WEISENMILLER: Good morning. Thank you
23 for your participation today. This is the IEPR process.
24 As Suzanne said, we're very focused on distributed gen
25 this time, there will be a series of workshops. Today

1 we're looking at the storage piece of the puzzle and
2 certainly trying to develop a comprehensive record,
3 certainly encourage people to have a full exchange in
4 terms of the panelists as we go forward, and then also
5 encourage people to give us thoughtful comments by the
6 11th. So, thanks.

7 COMMISSIONER DOUGLAS: Good morning. I will
8 join Chairman Weisenmiller in welcoming all of you to
9 the Energy Commission IEPR Workshop, those of you in the
10 room and those of you taking advantage of WebEx
11 opportunities. We're really interested in hearing from
12 you. Storage is a very important strategy as the state
13 moves forward in its renewable energy and climate goals,
14 so we're eager to hear and learn what we can from this
15 workshop and afterwards from public comments.

16 MS. KOROSSEC: All right, we'll go ahead and get
17 started. We will start with Mike Gravely. He'll give
18 us an overview of today's workshop.

19 MR. GRAVELY: Thank you. Mike Gravely from the
20 Research and Development Division, and I'll be the
21 Moderator for today's sessions. One of the things I
22 want to point out for both the speakers and the audience
23 is we have a very full agenda today, and so we're asking
24 our speakers to state to the timeframe we've asked, and
25 typically a six to eight-minute presentation, so we have

1 time at the end for the dais to ask questions. We have
2 a question and answer session in the morning and a
3 question and answer session in the afternoon, if we stay
4 on schedule, we'll be able to have sufficient time to do
5 that, so I may end up having to pull the hook on some
6 speakers and slow them down, if necessary.

7 All the presentations are available online, all
8 the presentations are formal records that we can use and
9 reference as we prepare the IEPR, and so, for that
10 reason, we may have some presenters summarize their
11 charts as opposed to covering every point on their
12 chart; they can cover the key points.

13 In general, for those that aren't aware, we did
14 have a workshop on November 16th, which was - this is the
15 second in a two-phase effort on Energy Storage, and also
16 on the use of Auto-DR as an alternative or a complement
17 to energy storage. That workshop, it was mostly
18 technology oriented, and the basic desire of that
19 workshop was to understand the state of technology,
20 understand the state of demonstrations, and understand
21 the commercial state.

22 Today's workshop, we'll have some presentations
23 from technology presenters and technology developers,
24 but the primary focus today is one what are the barriers
25 they're running into, what are the policies and

1 procedures that would help accelerate their technology
2 to be successful, in general. So, today's workshop is
3 going to focus more on what the challenges are, how do
4 we get storage more applied into to California, and then
5 talk a little bit about what is the ultimate mixture we
6 may need in the future for storage. Storage provides a
7 valuable perspective for integration of renewables, but
8 there may be alternative we have to consider. At the
9 end of the day, the state needs to find the most cost-
10 effective and efficient way of doing all this. So, we
11 do have a very full room here and we have a large crowd
12 on the Internet, so we'll do our best to keep up to
13 speed and keep moving on.

14 So today's agenda, we'll start off with several
15 presentations to help set the baseline for us. In the
16 PIER Program, we have done quite a bit in storage
17 throughout the years, and right now we have a couple
18 major efforts that we are very enthusiastic about, one
19 of them is developing a vision for energy storage. As
20 most of you know, we've been doing visions for Smart
21 Grid, and as part of Smart Grid, energy storage is part
22 of all those packages, but energy storage has received
23 so much attention in some of the questions we had, so we
24 actually awarded the contract and you'll hear briefly
25 about that in a little bit, to talk about what is a

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 vision for energy storage for 2020, in addition to
2 looking at renewable integration and other applications
3 of energy storage that may help bring down the cost and
4 improve the productivity of energy storage.

5 In the Panels today, we'll talk specifically
6 about the needs for storage and the applications for
7 storage, cost effectivity, and cost issues with storage,
8 and wrap up the day with the utility perspective
9 because, obviously, the primary focus today is utility
10 level storage or storage to support utility level
11 operations, whether that's transmission or distribution.
12 We're looking at the integration of renewables as our
13 primary challenge, and that's what the focus will be
14 today.

15 And with that, I will start off with our first
16 presenter, and Ethan will talk to us, and Byron, are you
17 also going to speak? Yeah, so together you'll hear a
18 little bit of where we stand on this vision for 2020.
19 We encourage anybody here who is participating to
20 contact these individuals. We're still in a draft form,
21 they'll take your input, they have public meetings, and
22 ultimately the results from their work will help us
23 formulate our recommendations for the IEPR at the end of
24 this year. Ultimately, today's workshop will provide us
25 details that we need to come up with recommendations

1 when it's from the staff perspective, for
2 recommendations and future suggestions on how to address
3 storage for renewable integration. And with that, I'll
4 let Ethan and Byron come talk.

5 MR. ELKIND: Okay, good morning, my name is
6 Ethan Elkind. I'm with the Center for Law, Energy and
7 Environment at U.C. Berkeley, School of Law, and I also
8 have an appointment with the Environmental Law Centers
9 at UCLA School of Law, and I'm going to talk a bit about
10 kind of an overview to set the table of some of the
11 policy issues at stake when it comes to energy storage,
12 and also talk about the Energy Storage Vision Project
13 that Mike just referenced, and then I'll hand over the
14 baton to Byron Washom midway through.

15 So, our work on energy storage comes out of a
16 workshop and a White Paper that we released from the two
17 law schools at UCLA and UC Berkeley, and we gathered
18 industry stakeholders and discussed some of the key
19 barriers that they're facing in relation to deploying
20 more energy storage technologies along the grid. And
21 they came up with some recommended policies, so we
22 encapsulated those in the White Paper.

23 And first, when we talk about Energy Storage, we
24 needed to define what we were talking about and this was
25 an exercise that did not lead exactly to consensus, but

1 we narrowed it down somewhat and came up with a
2 definition, a physical system with the ability to
3 capture energy for dispatch or for displacement of
4 electricity use at a later time. And there is also a
5 definition now enshrined in AB 2514, but we think this
6 somewhat encapsulates energy storage as a starting
7 point.

8 And we were looking at energy storage in part
9 because of the effort to integrate 33 percent renewables
10 by 2020, which is now in the law, and also because of
11 the need to reduce peak load power and spinning
12 reserves. And I suppose I would be remiss if I didn't
13 also mention that, you know, now, since we've done this
14 workshop last year, we now have the Governor, Jerry
15 Brown has his energy proposals as is referenced to have
16 utilities shift five percent of their peak load power,
17 and there is some data about the value of energy storage
18 for other uses, as well. So, there is a strong need
19 here and, of course, we have AB 2514 as a policy driver.
20 I should also mention the general Grid operational
21 support benefits that energy storage may be able to
22 provide.

23 So, these participants focused on some of the
24 key barriers, including regulations and utility
25 processes and there are a number of layers to this, but

1 I think, when we talk about regulations, a lot of the
2 common refrain that we heard was that we have a
3 regulatory system that is designed to meet more
4 conventional means of supplying energy and it doesn't
5 necessarily favor, and in some cases would disfavor
6 energy storage, which may be able to compete where the
7 regulation is designed in a different way. They talked
8 about monetizing the ratepayer utility and societal
9 benefits and the challenges associated with this, so
10 finding a way to monetize that value stream.

11 Another barrier that we have, issues regarding
12 technological maturity and high capital costs, and
13 particularly when you're faced with a situation where we
14 cannot deploy the energy storage technologies at a large
15 scale, you're not able to take advantage of the
16 economies of scale to bring down capital costs.

17 And finally, they identified a lack of public
18 awareness, and I think this workshop is obviously
19 getting at this barrier, but a sense of what the
20 benefits of energy storage could be, not just for grid
21 operators and utilities, but also for ratepayers and the
22 public. So, out of this discussion, some regulatory
23 considerations came out and I should also mention that,
24 even though I'm working on the Energy Storage Vision
25 Project, this was from our separate study, so this does

1 not necessarily reflect what we will have in our energy
2 storage vision project, although I think we'll end up
3 touching on most of these issues.

4 So, the first thing they talked about was the
5 need for an energy storage asset class, a separate asset
6 class to provide more certainty that energy storage
7 costs can be reimbursed and provide more certainty in
8 that respect, and I think if FERC were to take the lead
9 on that, that that would have a trickledown effect for
10 State policies. Also, for the CAISO to unbundle
11 ancillary services, to provide energy storage
12 technologies and manufacturers and developers to have an
13 in, to be able to bid on some of these ancillary
14 services.

15 Also discussed was adding energy storage to the
16 loading order, which may not involve adding it as a
17 standalone class, but perhaps adding aspects of energy
18 storage throughout the energy loading order where it is
19 appropriate. Having the CPUC establish a resource
20 adequacy value to incentivize contracts with energy
21 storage developers and, I think, a critical method, a
22 critical aspect that I think is still very much needed
23 is finding a method for energy storage value to be
24 reimbursed to providers, so this would involve, at least
25 at one level, developing a cost methodology analysis

1 that everybody could agree upon. And then we also have
2 to consider the implications of the 33 percent RPS and
3 the integration efforts.

4 So, considerations to lower the cost, and so
5 that was a critical barrier, continued R&D, tax credit
6 incentives, I know there are some Federal discussions on
7 this, and then CPUC standardized contracts for customer
8 provided storage could help streamline processes and put
9 more certainty into the process. Rate basing substation
10 and utility scale storage systems was also discussed and
11 encouraging large quantity long term commitments to help
12 bring down the costs of the economies of scale.

13 So, having said all that, it is somewhat of a
14 quick overview of some of the policy issues at stake
15 when we talk about energy storage.

16 I want to talk now about the Energy Storage
17 Vision Project. This is a project sponsored by this
18 agency and the PIER Program, and the research team
19 involves the California Institute for Energy and the
20 Environment, my school, the University of California,
21 Berkeley School of Law, researchers at the University of
22 California, Los Angeles, and University of California,
23 San Diego, and Byron will be representing them. We have
24 a diverse advisory committee. We're trying to make this
25 process as open as possible to get input from all the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 key stakeholders. We don't want to be in the business
2 of surprising anyone when they click open that PDF that
3 eventually will be available for folks, so here is a
4 list of just some of the people we have on the Advisory
5 Committee, and we've been in regular contact with them
6 and continue to look forward to getting input from them.

7 The project involves two parts, so the first
8 part is to do a technical status review of the various
9 energy storage technologies and identify the remaining
10 research and development needs. And then the second
11 part is an effort to set forth a strategic vision for
12 different energy storage scenarios over the next 10
13 years. And our goal is to highlight the value of energy
14 storage to meet future state energy goals.

15 To give a sense of the project timeline and what
16 our goals are, we are charged with supporting the CPUC
17 in their AB 2514 process as they are going through their
18 process of determining whether or not they will be
19 setting targets for energy storage procurement and, if
20 so, what those targets might look like. We also want to
21 provide input as we're doing hopefully today to this
22 IEPR process, and we also want to gather input from our
23 Advisory Committee members, utilities, energy storage
24 system manufacturers, etc.

25 We will have findings by almost next month, now,

1 but it will likely be at the end of June, and then our
2 final report will come sometime later this summer. And
3 now I'm going to pass the baton over to my colleague,
4 Byron Washom.

5 MR. WASHOM: Thank you, Ethan. I'm Byron
6 Washom, Director of Strategic Energy Initiatives at U.C.
7 San Diego. And I would like to first of all mention
8 that, on our technical survey that we're doing, there is
9 actually, for as young of an industry as this is, and
10 technology, there is an excellent base of vetted
11 publications. Unfortunately, with vetted publications,
12 they tend to be lagging by the time it takes them to get
13 to publications. So, we are depending a lot of our
14 information on these publications, but we are also
15 turning our attention to currently either publicly
16 disclosed energy storage contracts, and that's for the
17 first time is where you see the evidence of a willing
18 buyer and a willing seller at a price, technical specs,
19 warranties, etc. We're also getting access to some
20 private contracts that also will provide us a much
21 superior base than just the vetted publications.

22 R&D is an essential part of just about every
23 aspect of the different energy storage technologies, and
24 we are looking to, as a previous slide indicated, to
25 deploy at the speed of value. And the speed of value is

1 something that is technologically feasible, as well as
2 cost effective. So, we are looking to analyze the
3 feasibility of the forecasted -- or the AB 2514
4 schedule, as well as accelerating it beyond those
5 schedules.

6 So, in analyzing the State and Federal policies,
7 this is a policy driven market at the present time,
8 rather than a value driven market. And it will be
9 imperative that both Federal and State policies,
10 including FERC, are involved. We will be looking
11 outside the domain of the Federal and California
12 policies for other potential applications, including
13 Europe that might be relevant to us. And from this
14 bouquet of policies, we will actually be identifying the
15 most critical policies that our state here, as well as
16 possibly the Feds, should be looking at.

17 We will be evaluating the scenarios for
18 potential CPUC targets under AB 2514, which is probably
19 the most contentious issue within 2514, and then we will
20 be pulling three to five promising applications for
21 energy storage likely to have either grid problems or
22 grid opportunities in 2020. Those three to five
23 candidates have not yet been identified and might be
24 finalized as soon as lunch today, but they are in the
25 areas of Area and Frequency Regulation, Renewable Grid

1 Integration, T&D Deferral, Load Following, and Electric
2 Energy Time Shifting. So, I think that will be much the
3 heart of our report, as well as our policy
4 recommendations. And then, in terms of the scenario
5 planning, it will be a business as usual which, on the
6 present course would be long and slow, as compared to an
7 accelerated deployment in which you would either have a
8 technology push or a market pull in order to bring more
9 opportunities in the value added of energy storage to
10 the marketplace.

11 But we are reminded that there are potentials
12 for disruptive events, both positive and negative, and
13 we are seeing them occur almost daily, one disruptive
14 event occurred with the earthquakes in Japan, which
15 showed the lack of energy storage on-site at nuclear
16 power plants; two weeks later, there is a U.S. Senate
17 Hearing identifying that a vast majority of U.S. nuclear
18 power plants lack the commensurate amount of storage,
19 and suddenly we saw an overnight surge in demand for
20 that type of storage in the marketplace.

21 We also are seeing, the smarter the Grid gets,
22 maybe the less storage is needed, so there are
23 disruptive events, and one has to be nimble in this
24 Vision document to anticipate these disruptive events.

25 And then there are ongoing research needs. We

1 are heartened by the issuance of a number of funding
2 opportunity announcements from Department of Energy,
3 ARPA-E, which is a major program that is not looking for
4 an order of magnitude improvement in either the cost or
5 the performance, and so ARPA-E is now attending to
6 themselves not only to - DOE is attending themselves to
7 the present technology, but ARPA-E is attending
8 themselves to the over-the-horizon.

9 So we have had a number of different milestones
10 of events that have involved primarily the public, as
11 well as interested stakeholders, and we'll continue to
12 be able to have this interface during the course of the
13 summertime. And we have completed the technical surveys
14 of the, if you will, the background document of the
15 technically available technologies, as we see today,
16 which gives us the framework for the deployment and the
17 analysis.

18 So, as Ethan mentioned before, we're a multi-
19 campus collaborative effort between Berkeley, UCLA and
20 UC San Diego, and we're being led by the California
21 Institute of Energy and Environment, and I'm showing now
22 the contact information for all of us; all of us are
23 equally accessible, and we would welcome your questions,
24 inputs, comments, and criticism. Thank you.

25 CHAIRMAN WEISENMILLER: Okay, thank you. A

1 couple questions. I guess I will start with a couple
2 observations. First is, I think generally in the
3 industry, the understanding is that, in terms of
4 potential game changers in the electric industry,
5 storage could be one of those, and certainly change the
6 whole nature of things, so that's one of the reasons why
7 we're really focusing on things today. The other
8 general observation is, obviously the Governor is fairly
9 clear that 33 percent is to be seen as a floor, not a
10 ceiling, on the level of renewables we're shooting for.

11 In terms of turning more to questions, I guess
12 the first question is that fundamentally with storage,
13 do we need now economies of scale or market pull-
14 through, or do we really need technology breakthroughs?
15 You know, what does it really take to make this work?

16 MR. WASHOM: I would respond in this fashion.
17 The subject of storage is like having a quiver to which
18 you have a number of different arrows, which are a
19 variety of different technologies. And so, appreciating
20 how many different types of arrows you have in your
21 quiver must be taken into account. Some arrows are
22 ready to fly today, other arrows are not. And so, I
23 personally am of the belief that "the volume cures all"
24 is a myth, it's just not a matter of creating more
25 volume. As I indicated earlier, deploying at the speed

1 of value. So, where we need technology improvements, we
2 need R&D first, and then move it into the marketplace.
3 All the technologies in one form or another, due to
4 their capital intensiveness, will probably need
5 incentives of some type by the failure of the current
6 marketplace to monetize the true value of storage.
7 Storage has over 30 different elements of value and,
8 right now, very few of those elements of value are
9 monetized in the marketplace.

10 CHAIRMAN WEISENMILLER: Okay, well, that gets to
11 the next question. If you think of Alfred Kahn's basic
12 definition of what is a utility function, it's one where
13 there are economies of scale. Obviously in the
14 generation sector, that logic went away decades ago; the
15 question is, in storage, is there going to be economies
16 of scale? I realize there is a range of services here,
17 is this going to be a utility function or a competitive
18 function?

19 I would believe it will be a competitive
20 function and there will be a role for the utility,
21 particularly in the areas of large baseload shifting of
22 load, as well as the issues of reliability, T&D deferral
23 is primarily utility function, so there is a variety -
24 again, out of this list of 30, some are very clearly
25 long on the customer side of the meter, some belong on

1 the utility side of the meter, and some afford
2 themselves to the energy service providers.

3 CHAIRMAN WEISENMILLER: Okay, but, again, is
4 that philosophy? Or is that economies of scale driven?

5 MR. WASHOM: No, I don't think - I think with
6 energy storage, it's not economies of scale, it's
7 location and value and the service that you're providing
8 at a moment in time.

9 CHAIRMAN WEISENMILLER: Maybe, but, again, I
10 think all of us can profit by listening to Alfred Khan
11 on that issue, you know, I think certainly I remember in
12 the last decade some theories of like unbundling some of
13 the billing and metering services, and, again, that sort
14 of flew straight in the face of economies of scale.

15 So, the next question is, you're talking a lot
16 about storage, but what about complementary products
17 like demand response? You know, what is the right mix?
18 I mean, it doesn't seem like we want to do all storage
19 at that cost, as opposed to some portfolio of responses
20 that are storage, demand response, and presumably gas
21 plants.

22 MR. WASHOM: I concur with that point of view.
23 In the particular case, and I gave it a one-sentence
24 treatment in my presentation of saying "the smarter the
25 Grid becomes, the less storage that is required," demand

1 response, automatic demand response, greater sensing,
2 greater efficiencies in the marketplace of re-
3 optimization and rescheduling of supply and demand, that
4 all comes into play. And so there's actually a rivalry
5 and intramurals, if you will, between storage and the
6 smart grid. But ultimately, storage does definitely
7 have a niche and the question is how large is that
8 niche, and is the smart grid and Auto-DR eating away,
9 eroding at the bandwidth of that marketplace?

10 CHAIRMAN WEISENMILLER: Okay. The next
11 question, more specifically, you talk about the CAISO
12 unbundling ancillary services, have you guys reviewed
13 the CAISO tariff, at least for the battery storage
14 approach?

15 MR. WASHOM: I personally am conversant in that,
16 but have we as a group, I believe that is on our agenda
17 to look at the CAISO activity. But I have to be careful
18 with my pronouns of "we" and "I" today, so I think the
19 "we" answer is we're about to do that. Thank you.

20 CHAIRMAN WEISENMILLER: Okay, and I guess my
21 follow-up question was, that was designed to deal with
22 the specific decay characteristics of batteries; will we
23 need tariffs for each of the storage technologies to
24 reflect their characteristics, or what?

25 MR. WASHOM: Actually, I would reverse that, in

1 all due respect. And I would say the applications will
2 be the ones that should be tariff-focused, and you allow
3 the marketplace and the technologies to decide whether
4 or not they can compete or not compete in the
5 application. And what I'm personally finding, on Friday
6 I'm opening bids for one megawatt of four megawatt hours
7 on campus, and what I am finding is that the previous
8 assumptions of where these technologies could or could
9 not compete are actually changing. They're morphing.
10 And so, the marketplace that's represented by your
11 audience here is actually finding that their technology
12 can go in and compete in applications we presently did
13 not presume. So, I would say, be applications oriented
14 on how you monetize the value, and then let the
15 marketplace, and then technologists and the OEMs come in
16 and try to penetrate those opportunities.

17 CHAIRMAN WEISENMILLER: Certainly, it's a lot
18 better if we can design the services, reflect those in
19 the tariffs, and then if people compete to provide
20 those, in a way that provides the best value to the
21 ratepayers.

22 MR. WASHOM: I concur.

23 CHAIRMAN WEISENMILLER: Okay, next speaker.

24 MR. WASHOM: Okay, thank you very much.

25 MR. GRAVELY: So the next three speakers will

1 give us a perspective from the Public Utilities
2 Commission, the ISO, and the Federal Department of
3 Energy perspective. And Michael Colvin is here to give
4 us - one thing we mentioned, besides the IEPR, of
5 course, is 2514, and the research we're doing, the work
6 we're doing also will feed into that, and we're very
7 actively with the PUC in helping them, as well as the
8 utilities are, so this will give you an overview and
9 feel free to ask questions later about how the PUC sees
10 2514 flowing out.

11 MR. COLVIN: Good morning, Commissioners and
12 good morning everyone else. My name is Michael Colvin
13 and I'm a staff person on the Policy and Planning
14 Division at the CPUC, and I am right now the staff lead
15 on our energy storage efforts. It's a privilege to be
16 here this morning.

17 Probably the standard stock disclaimer you
18 always hear from staff people at these IEPR workshops is
19 that, since this is a rulemaking, and we are actively
20 trying to develop rules, not a lot of official PUC
21 positions are being presented today, that a lot of this
22 you'll kind of hear me weave in opinion and, kind of,
23 facts. And I'll try to be really clear when I'm doing
24 what. I also think it's worth noting that I'm right now
25 also kind of wearing two hats at the PUC. I'm also

1 acting as interim energy advisor to Commissioner Ferron,
2 who is in charge of all of our renewable efforts, and so
3 I'm not representing his views on any of our renewable
4 efforts, so I'm kind of playing the staff role today.
5 So, if I act schizophrenic, now you know why.

6 A couple of basics, I know most people in the
7 room already know this, but just in case, AB 2514, the
8 Skinner Bill requires the PUC by March of 2012 to open a
9 proceeding to start looking at doing a rulemaking. We
10 actually launched this already in December of last year,
11 so we're ahead of schedule, just to give you a sense of
12 where we're at in the timing. But the law asks us to
13 determine any appropriate targets of all the load
14 serving entities to procure viable and cost-effective
15 energy storage systems. And then it asks us, by October
16 2013, essentially a year and a half later, to establish
17 those targets if we find that any of them were
18 appropriate. And it also said, well, make certain that,
19 since this is a nascent market, to establish some clear
20 milestones for 2015, so, a year and a half later after
21 that, and then for 2020. So, those were sort of the
22 timeframes of what can we do near term and what are we
23 doing by 2020.

24 The law also speaks about some of the very
25 similar milestones and approaches for the non-investor

1 owned utilities in the state, but I'm not going to cover
2 that part of 2514.

3 The policy goals of 2514 are fairly clearly laid
4 out and say an energy storage system, if we're going to
5 set some targets for this, it must be cost effective and
6 it should also try and do one of the following things,
7 and that runs the gambit from reducing greenhouse gas
8 emissions or reducing peak demand, defer substitute
9 investment and generation or transmission assets,
10 improve reliable grid operations, and there's probably
11 half a dozen other good policy goals that are within
12 that, that the law doesn't specifically enumerate, but
13 we need to look at and try to consider.

14 I'd like to point out for the purpose of today's
15 workshop that the theme is renewable integration and,
16 while critically important, at least in my opinion, it's
17 not the only policy driver that we need to be focused
18 on, and so there is a little bit of a balance of, "Yes,
19 33 percent is the floor, we are going to be moving
20 towards more and more renewable integration, storage
21 might be able to play a role there. But storage might
22 also be able to play a role in a bunch of other places
23 on our rapidly changing Grid, let's just not get tunnel
24 vision." And so I hit on cost-effectiveness that was
25 sort of the one thing that storage must be cost-

1 effective and.... And so, the PUC can consider a variety
2 of possible policies to encourage cost-effective storage
3 to be deployed to the grid, it could be anything from
4 refining how we currently procure assets to considering
5 different contract methods, to different ownership
6 models, to leveraging our self generation incentive
7 program, anything and everything that is kind of within
8 our arsenal. Now, I'll be clear that we're a ratemaking
9 agency first and foremost, so when you have the hammer
10 of ratemaking, we tend to look at things through rates
11 or through contracts, and I think it's critically
12 important that the Energy Commission - that we always
13 work together because you guys have such a different
14 perspective, and I think the two together provide the
15 right chorus.

16 The trick, and this is kind of the classic
17 policy trick, but the trick with storage of where we're
18 at right now is costs are immediate and known, but the
19 benefits are long-term and diffuse, it's kind of the
20 classic policy problem and we need to figure out a way
21 of determining what are the externalities, what are -
22 how do we start getting the value of storage? And so I
23 kind of put down there the key question I think we all
24 need to figure out, whether it's at the PUC's
25 proceeding, or everywhere else's: how do we properly

1 enumerate the value of storage on our system?

2 Just to give you a couple of highlights of some
3 of the major activities that the PUC has done, in July
4 of 2010, sort of as the Skinner Bill was being
5 developed, we put out a PUC White Paper, some of the
6 contributors of that White Paper are actually in the
7 room today, to say "here are what we identify as some of
8 the barriers and opportunities for storage," and coupled
9 with the 2514 Bill, the PUC launched our rulemaking in
10 December of 2010. For those of you who like numbers,
11 our official Rulemaking number is R10-12-007, "10" for
12 2010, "12 for December, and "007" just because.

13 Following the launch of the White Paper and of our
14 rulemaking efforts, we asked parties to get some
15 comments to say, "Well, what do we think the scope is of
16 this, of what we should be looking at?" And, actually,
17 and kind of an unusual step to really try and make
18 certain we were getting full stakeholder input at the
19 beginning of this process, we held kind of an informal
20 pre-workshop to say, you know, make certain we are
21 getting into everything, it was an extraordinarily
22 useful event. Again, a lot of the people in the room
23 were able to participate in that and it was critically
24 helpful. About a week and a half ago, we hosted a pre-
25 hearing conference mixer in that we were determining the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 scope and the schedule correctly. In our Scoping Memo,
2 which will set the schedule, will be coming out probably
3 in the next two weeks, so early May.

4 Getting into a little bit more of the substance,
5 and I'm going to bifurcate a little bit of this into
6 this talk now and then I'm on another panel later on
7 today, so some of the stuff will be saved for that. But
8 some of the key questions we need to consider is, "Well,
9 what is the current status of the storage market?" And
10 given the fact that there's both rapid technological
11 change and, frankly, rapid market change, how do we
12 create a general policy framework that will be
13 sufficient? And what is the umbrella policy statement
14 that we need to be making that can then be applied onto
15 the various unique situations that we need? And I think
16 one of the questions that I keep asking myself is, what
17 are we trying to accomplish from an increased
18 penetration of storage? What is the ultimate goal? You
19 know, is it more for more sake, or is it more in order
20 to be able to do this? Is it a means to an end, or is
21 it an actual - the goal is just more?

22 You're going to probably hear this buzz word a
23 lot today, but I'm going to be the first person to try
24 and introduce it, what are the primary [quote unquote]
25 "applications of storage?" Where does it make sense to

1 actually be putting storage on our system? I think,
2 hopefully, this talk and also some of the other talks in
3 the first part of the morning will get at, are there
4 unique market or regulatory barriers to storage? It is
5 kind of the new technology, it is sort of a changing
6 grid and a changing everything else, and so do we need
7 to be thinking about some of our market rules, our
8 contracting rules, etc.? And then, we probably need to
9 do that across all the relevant agencies, and that will
10 probably be one of our first efforts at the PUC is to
11 just say, "Is there something that is just a market rule
12 that can be changed immediately before we get into
13 general policy-making, then, that just sort of needs to
14 get coordinated?"

15 And then, this is again something that I use, a
16 sort of a touchstone in thinking about storage, but how
17 does storage connect to the other resources in the
18 Energy Action Plan? And again, it goes a little bit
19 back to this idea of applications, but if you think
20 about storage and demand response, and the problems or
21 opportunities there vs. storage and distributed
22 generation that's behind the Grid, totally different
23 barriers to entry, probably - different ownership
24 models, different value streams, but yet it's all still
25 storage. And so, just going through the rigor or going

1 through the exercise of connecting to different points
2 along the loading order is probably a useful way to
3 making certain that whatever general policy framework we
4 come up with is strong enough to go through that
5 process, go through that ladder. And, again, sort of a
6 sneak preview of some of the ways of how we're thinking
7 about this, at least at the staff level.

8 The balance as we go forward needs to be, "What
9 are the ratepayers trying to get for more - increased -
10 amount of storage?" Cost-effectiveness, integration
11 with the Grid, with either renewable resources, or what
12 I would call non-dispatchable resources, things where we
13 don't have control over how the Grid works, so we have a
14 bunch of 24/7 must take resources on our Grid, in
15 addition to the intermittence. And that sort of gets
16 lost in the renewable integration conversation, but
17 both, I think, need to - can be balanced by storage and
18 can play that role. And ultimately, we need to balance
19 kind of those different factors to be able to then send
20 a clear signal out to the market to say, "Here's what
21 we're trying to provide the opportunities for, now
22 market it and see if you can run."

23 I'm going to have a couple other things for
24 later on today, but I think this hopefully gives you a
25 sense of some of the general policy thinking of where

1 we're at.

2 My last thing, just to kind of say more to the
3 folks in the audience is, if you're not used to
4 participating in the PUC's process, please feel free to
5 see me after or during one of our breaks, I can get you
6 any information you need in terms of getting onto our
7 service list or anything else, it's a big tent, we
8 welcome public participation, especially in kind of a
9 new topic like this, you know, the more voices the
10 merrier. So, if you are kind of interested in anything
11 I've had to say and want to learn more, please do
12 participate. And with that, if you have any questions,
13 let me know.

14 CHAIRMAN WEISENMILLER: Yeah, first, I want to
15 really thank you for your participation today. I mean,
16 obviously, we like to look at the IEPR as a opportunity
17 for the State's Regulators, the Energy Commission, the
18 PUC, and to some extent the CAISO, to jointly address
19 these issues and certainly welcome your office's
20 participation as we go forward, wearing your
21 Commissioner Ferron hat in this activity, and I know he
22 and I had talked earlier, unfortunately, and I
23 understand his scheduling constraint, or else he might
24 have been sitting at the dais today with us. I guess,
25 you know, as you indicated, the PUC is very focused on

1 rates and the cost of stuff; here, we're probably more
2 focused on the environmental impacts, CAISO more on
3 reliability aspects, so we have to get all three to fit
4 together. But, I mean, looking at your slide and
5 looking at cost-effectiveness, the one policy issue
6 we've struggled with, in our Building Standards, we have
7 to look at lifecycle costs, so, again, cost-
8 effectiveness. But in our most recent one, we're
9 looking at including greenhouse gas implications as part
10 of the economics. I don't know if the PUC has struggled
11 with that question?

12 MR. COLVIN: Oh, mightily so. And, again, the
13 question -- I'm going to shift actually to this slide
14 here, you notice kind of the first bullet point is
15 greenhouse gas emissions is sort of one of the key
16 policy drivers that's there, I think there are two
17 answers to your question, one is eventually with AB 32,
18 and if we get cap-and-trade actually launched, there
19 should be a strong enough carbon market that hopefully
20 will eventually translate into rates and for certain
21 aspects of the storage market, a proper rate signal and
22 a proper rate design is really critical in order to make
23 the value chain actually work. And so, in terms of
24 greenhouse gas emissions, this is talking about reducing
25 greenhouse gas emissions, when I talk about rates it's

1 more about, well, what about the things that are
2 actually being emitted? What's the value there? So I
3 think that's kind of the first part of your question.
4 The second part, which is a little bit less obvious to
5 try and figure out in terms of the value chain is, what
6 is the value of the avoided GHG, is it exactly equal to
7 the carbon market? Maybe, maybe not. And in terms of,
8 well, how do we make smarter procurement choices in
9 terms of avoiding that next greenhouse gas, it's the
10 mixture of markets and mandates that the state is
11 pursuing here, and I think that goes back to the
12 original kind of purpose of today's topic, which was
13 renewable integration, and you know, no sources of
14 power, and if storage can help promulgate more null
15 sources of power, that might be something that needs to
16 get palliative and I think that is going to be a hat
17 trick we're going to have to figure out during this
18 process.

19 CHAIRMAN WEISENMILLER: Okay. The next question
20 is, as I said, to some extent storage and demand
21 response are complementary, so, in the PUC context, are
22 you considering the tradeoff between, say, more storage
23 or more demand response?

24 MR. COLVIN: I'm pausing for a second because we
25 do have some storage applications that are actually

1 coming in as part of our demand response suite of
2 applications, things like permanent load shifting.

3 CHAIRMAN WEISENMILLER: Right.

4 MR. COLVIN: And so I actually don't think that
5 they are necessarily competing, I think that they
6 actually can, sort of like the Venn diagram that they
7 actually can overlap to a certain extent. In my mind,
8 if we can come up with a proper value chain for storage
9 to say, "Here's what we think storage stacks up
10 correctly," then let's give choices out to the end
11 consumers and say, "If you want to participate in demand
12 response, here's that price signal, and if you want to
13 participate in storage, here's this price signal." And
14 there will probably be a little bit of turning left,
15 but, you know, having your foot on the gas and the brake
16 at the same time kind of metaphor, but at the same time
17 I think that's what economists call "equilibrium," and
18 that's a good thing. So, I don't think there's a direct
19 competition there, I do think that demand response is a
20 little bit more of a mature market, and so we might be
21 looking at things from that lens a teensy bit more right
22 now.

23 CHAIRMAN WEISENMILLER: Okay, and in terms of,
24 as you talk about looking at moving forward, do you
25 anticipate looking at the value or cost as you're

1 setting rates or tariffs for, say, storage?

2 MR. COLVIN: I think both, in all honesty.

3 CHAIRMAN WEISENMILLER: I see, yeah.

4 MR. COLVIN: Not to completely evade your
5 questions. But I guess I define value as what's the
6 value that could be positive or negative attached to it.

7 CHAIRMAN WEISENMILLER: Right.

8 MR. COLVIN: And then translating that into
9 rates, as appropriate.

10 CHAIRMAN WEISENMILLER: Right. Yeah, and so
11 I'll try again, I mean, obviously you talked about, say,
12 eventually the avoided cost of storage, and if you look
13 at, say, generation historically, you know, if you go
14 back decades and decades ago, it was all cost-based.

15 MR. COLVIN: Uh huh.

16 CHAIRMAN WEISENMILLER: And, certainly in the
17 PURPA context, it became more value based. And so,
18 again, and that was one way of introducing innovation
19 into the generation sector. So, in terms of this
20 innovation of storage, again, you could do it either by
21 an avoided cost approach, or a cost-based approach. Or
22 both, depending on applications or values.

23 MR. COLVIN: Yeah, now you're making me want to
24 put on another hat because I did PURPA and Q.F. and CHP
25 stuff for two years.

1 CHAIRMAN WEISENMILLER: Well, good. So you know
2 the problems of both of those.

3 MR. COLVIN: I do know the problem. I think
4 it's a perfectly valid question to ask and I don't have
5 - I think that's something that I would kick out to the
6 parties and say, "What should we be doing with this?"
7 And hopefully it will develop, but I don't have a gut
8 reaction for you right now.

9 CHAIRMAN WEISENMILLER: That's good because
10 obviously, as you know, with the industries, depending
11 upon the relationship between cost and value, they look
12 to the Commission for either cost-based rates or value-
13 based rates.

14 MR. COLVIN: Right, yeah.

15 COMMISSIONER DOUGLAS: I don't have any
16 additional questions. I really appreciate you being
17 here and it was helpful hearing the exchange with
18 Chairman Weisenmiller and your answers, so thank you.
19 We'll look forward to seeing you later on the panel.

20 MR. COLVIN: Yeah, thank you so much for all of
21 your time.

22 CHAIRMAN WEISENMILLER: Thanks again.

23 MR. GRAVELY: The next speaker will come and
24 address for us the California ISO perspective on
25 storage, and I would add one additional question here

1 for you to think about as you're here, and that is that
2 we hear a lot of questions, in general, on our
3 presentations here about what the rest of the ISOs are
4 doing around the country. So, maybe at some time you
5 can summarize where you think California's approach is
6 compared to the rest of the country, if you don't mind.
7 Thank you.

8 MR. ROTHLEDER: Thank you. I'm Mark Rothleder,
9 Director of Market Analysis and Development with the
10 California ISO. I'm also responsible for performing the
11 Renewable Integration Studies; this is the non-
12 transmission-related studies, so I'll be discussing that
13 today.

14 The renewable integration effort, the ISO is
15 very committed to California achieving its objectives
16 for renewable policy objectives. We also have the
17 obligation to, as Grid Operators, to ensure that the ISO
18 and the Grid can be operated reliably as we transmission
19 the resources mix to meet the load. The ISO has
20 performed and is currently performing some additional 33
21 percent renewable studies, these studies are in
22 coordination and in support of the CPUC Long Term
23 Planning process, and they are looking out at what the
24 operational requirements are in the 2020 timeframe, and
25 also identifying if there's any residual needs that are

1 not met by the expected resource mix that is planned.
2 These studies are bounding studies, they are not
3 definitive, they are highly dependent on the assumptions
4 that you put into them, and I will be getting into a
5 little bit of that in the subsequent slide.

6 What are the operational challenges? They vary
7 and these three pictures kind of describe it best. The
8 first is with load, itself, and then the overlaying with
9 renewable resources, wind and solar. You have increased
10 amount of variability and uncertainty, variability as
11 cloud comes over, you've got a reduction of production;
12 uncertainty is that it's hard to predict exactly what
13 the level of production on some of the renewable
14 resources are going to be. Both of those create a
15 balancing challenge. In addition to that, there's
16 dispatchability and over-generation, so while you can
17 predict conditions, you may get into situations where
18 the production of wind and all the rest of the resources
19 exceeds what the load is at the time, and then you have
20 a balancing issue, in which case you need some downward
21 dispatchable capability and also, sometimes, upward
22 dispatchable capability.

23 And then, in addition to that, there is just a
24 different pattern that will start to arise in the future
25 where we're very used to having the load pattern as the

1 day starts, the load ramp comes in, and then in the
2 evening the load ramp falls back off. However, with the
3 offsetting amount of wind and solar, we do expect to
4 have larger net ramps of balancing of the systems. So,
5 we expect that the load itself, the load ramps, will
6 actually be exceeded at times as the sun goes down and
7 the solar goes down, and the wind starts to rise. There
8 could be larger in-ramps and out-ramps that are needed
9 to be balanced.

10 From our perspective of the studies, the studies
11 are really multi-stepped. And the first step is to
12 determine the operational requirements, and that is to
13 quantify the amount of what we call regulation and load
14 following service that are needed to offset the amount
15 of variability and uncertainty in the system. After we
16 come up with these operational requirements, we then
17 perform production simulations that attempt to
18 simultaneously meet both the energy and the required
19 regulation and load following remaining reserve
20 capability, as well as meeting spinning reserve
21 operational requirements. And those production
22 simulations are performed over an 87 60-hour year long
23 period and they would identify, 1) any limitations or
24 shortfalls in meeting any of those requirements. In
25 addition, they provide some insight into the production

1 costs and emissions necessary to meet those operational
2 requirements.

3 Lastly, our studies do look at the inventory of
4 the fleet of the system to assess what's happening to
5 the flexibility of the fleet, is it going down? Is it
6 changing? And how is it changing the capability?

7 These are some additional observations from the
8 most recent study work, and this study work is
9 preliminary right now, it's just starting to complete,
10 and in fact tomorrow some additional information about
11 the results will be published in support of, again, the
12 CPUC Long Term Procurement process.

13 The new cases that are being run are different
14 from last year's cases where we tried to attempt to
15 study 33 percent. The assumptions for load have been
16 modified in these new scenarios to reflect that there is
17 about 7,000 megawatts of energy efficiency. Assuming
18 California meets the objectives of the demand response
19 and energy efficiency, what we're finding in the new
20 cases, which is different from the previous results, is
21 that the load following requirements have, 1) been
22 reduced, secondly, the amount of residual need for
23 regulation and load following services has actually
24 decreased, in fact, we see little or no violations of
25 meeting the upward capability. We do still see some

1 downward shortages in the range of 1,100 megawatts.

2 How do we meet these shortages is something that
3 really needs to be considered carefully because, if
4 you're dealing with load following down requirements,
5 it's probably not necessary to consider additional
6 conventional resources, but it does set the stage for
7 things like demand response, or storage devices, and
8 curtailment of resources, the renewable resources
9 themselves, assuming it's a fairly limited number of
10 hours of violations.

11 Now, shifting to the storage technology and what
12 role the different technologies play in meeting the
13 reliability and operational objectives. And there's
14 several different tools and different timeframes, and
15 depending on the timeframes of these technologies, how
16 long they can produce, how quickly they can produce, and
17 how fast they can ramp. They play different roles in
18 terms of meeting the reliability objectives, so, for
19 example, batteries and flywheels, which may be able to
20 act in very short periods of time, may be very
21 appropriate for things that are voltage control, or
22 direct like regulation balancing; things that have
23 longer storage life and production capability are maybe
24 suited for meeting the load, or shifting the load needs,
25 over the day period.

1 And we realize that the evolution of these
2 technologies is changing, so it's not - while this
3 graphic represents certain categories, certainly there's
4 crossover categories; in other words, maybe pumped
5 storage that in the future has some ability to vary in
6 pumping mode, may be able to provide some services in
7 the regulation arena, or in the 10-minute balancing
8 market. All these come into play in terms of meeting
9 intermittent and energy smoothing, addressing ramping,
10 and addressing over-generation conditions.

11 In terms of efforts underway at the California
12 ISO, over the last year or two, the ISO has taken
13 several steps in trying to remove barriers in terms of
14 its market to allow for more non-generation resources to
15 participate in the market. Some of these efforts, for
16 example, regulation energy management, provides
17 additional capability to allow resources to provide
18 regulation, recognizing that some storage devices would
19 not be able to deliver over a one hour period, but
20 certainly can provide the service over a 15-minute
21 period.

22 Other initiatives underway have been completed
23 and change the make-up of the minimum size of the
24 resource, we reduce that from one megawatt to 500
25 kilowatt, in order to participate in the ISO's market.

1 In addition, we've, in the ISO and in working with the
2 CEC, we're trying to modify the definition of
3 regulation, spinning and non-spinning, to allow from a
4 timing perspective storage devices to participate and
5 provide these services.

6 The Regulation Energy Management System is one
7 of the most recent initiatives and, really, this allows
8 us to both use the resources for regulation purposes,
9 and it's important, it's a technological effort to try
10 to control when you charge the storage back up, when do
11 you release the energy, and how do you do that in
12 conjunction with the market and the underlying system
13 balancing. And managing all that together does create
14 some new challenges and does create some innovation in
15 terms of how we control and our underlying controls and
16 market systems.

17 Overall, the ISO is trying to support renewable
18 integration, several efforts, one is the studies, in
19 addition we're performing enhancements to forecasting
20 tools, trying to come up with measures to address over-
21 generation, and increased and better monitoring systems.
22 For resources that are outside the balancing authority
23 area, we're trying to come up with measures to allow for
24 more intra-hour scheduling and dynamic transfers of
25 renewable resources. And on the market side, we are

1 addressing and trying to remove barriers and develop new
2 market products that allow resources like storage to
3 monetize and extract their value in meeting the
4 operational needs. Some of the new market product
5 developments will likely address and probably introduce
6 new ramping products necessary to balance the system,
7 and those will provide potential for capacity payments.
8 The ISO is also interested in looking at, longer term,
9 and any kind of capacity market or through resource
10 adequacy, how can storage devices participate and meet
11 those requirements.

12 Lastly, the tools that we have will require
13 additional enhancements to incorporate any of these
14 resources in managing renewable integration, and we're
15 committed to modifying and adjusting these algorithms to
16 optimize the use of the system. Thank you for the
17 opportunity and I can take any questions at this time.

18 CHAIRMAN WEISENMILLER: I'd first like to thank
19 you for your appearance today. I think, certainly, we
20 appreciate the opportunity to work with the CAISO and to
21 be able to get the benefit of your operational
22 experience in this type of context. So, a couple
23 questions. The first one was just on - it seems like
24 the whole operational stuff, I'll go through three
25 scenarios and we could talk about how storage fits in

1 those scenarios. The first event is responding as an
2 operator to sudden drops or increases in, say, wind
3 output. I know when I was at the CAISO building
4 dedication, I think one of the things Steve said was
5 that, you know, in the last couple of weeks, you've had
6 a drop of wind production of 800 megawatts in one hour,
7 so the question is, in that context, would storage help?
8 Or how do you currently respond to that sort of drop?
9 And that's with current levels of wind, presumably, as
10 we increase, you could see much larger swings. And that
11 was down - I suppose you could also have massive, you
12 know, similar swings upward.

13 MR. ROTHLEDER: Yeah, we see both ramp-in and
14 ramp-out of wind and it is increasing the amount over
15 the hour and even intra-hour is increasing. The
16 storage, one arena it can help, is providing regulation,
17 so the initial way the system balances for any drop
18 within the five minutes is going to be the regulation of
19 the system. Usually we have about 300 to 500 megawatts
20 of regulation on line, ready to meet that change. That
21 will probably increase as we see increased amounts of
22 renewables. So that's the first thing. And we've
23 removed barriers to allow storage to participate and
24 provide that regulation service. Over the rest of the
25 hour, to the extent storage devices can provide longer

1 deliveries of energy utilizing those devices as
2 dispatchable resources, we basically have a five-minute
3 dispatch market, basically balancing the system kind of
4 behind or ahead of regulation. That's where that
5 balancing would occur. And having storage resources
6 that are dispatchable, that can provide energy over
7 longer periods of time, does provide that capability.

8 CHAIRMAN WEISENMILLER: And you mentioned over a
9 long period of time, although your chart indicates that,
10 at least for the battery context, you're looking more at
11 15-minute increments, as opposed to over an hour.

12 MR. ROTHLEDER: Right, so that would be more in
13 the regulation rather than using it as a dispatchable
14 resource within the hour.

15 CHAIRMAN WEISENMILLER: Yeah, now in terms of if
16 you could get the intertie scheduling to be less than an
17 hour, but more intra-hour, how would that compare to
18 storage, if we could go to a 15-minute or five-minute,
19 even, on the interties?

20 MR. ROTHLEDER: Yeah. So, there's two types of
21 ramps from the interchange, one is scheduled ramp that
22 actually occurs every hour over the 20-minutes across
23 the hour boundary, that's one form of ramp. As we allow
24 for more resources to dynamically schedule, especially
25 renewable resources to dynamically schedule, they become

1 effectively like internal resources, internal to the
2 balancing authority, and so it will just increase the
3 amount of variability that the ISO will have to
4 accommodate as we see increased amount of dynamically
5 scheduled resources.

6 In terms of having the intra-hour schedule
7 capability, you still have the change of the schedule,
8 you can break it up, breaking it up over the hour in 15-
9 minute increments reduces the burden for balancing,
10 there's no doubt about that. Also, having the forecast
11 of that change ahead of time allows the operator to lean
12 into and prepare for that change. However, it doesn't -
13 the variability will still occur, it'll just come in
14 smaller granularity chunks, and having that occur that
15 way will reduce some of the burden, but I don't think it
16 is an alternative to having dispatch capability to
17 balance the system on a regular basis. It reduces the
18 burden.

19 CHAIRMAN WEISENMILLER: Okay, so switching
20 gears, we've talked about variable resource, going up or
21 down dramatically, the other system operational issue
22 that you have to deal with is, let's say, SONGS kicks
23 off now, or we use an intertie because of a fire and you
24 have 10 minutes to respond, and obviously this could be
25 at night or any time during the day, how does that work,

1 or how can storage help in that situation? Obviously,
2 presumably, those events could be more like multiple
3 hour if not day or week or month events for responding,
4 but at least in the first 10 minutes you have to respond
5 on a frequency side.

6 MR. ROTHLEDER: Right, well, what you describe
7 there is more of a contingency event and that's exactly
8 what the purpose of operating reserve is for, spinning
9 and non-spinning reserve --

10 CHAIRMAN WEISENMILLER: Right.

11 MR. ROTHLEDER: -- and that really is there,
12 it's held in reserve, it's not being dispatched to
13 normally balance the system, but it's there in
14 preparation for what you describe as a contingency
15 event. And in that regard, storage devices could play a
16 role in providing those types of operating reserve
17 services, they can deliver in 10 minutes, and then we
18 can utilize other resources to start to fill in the need
19 and return the reserves over the rest of the hour. In
20 fact, we can dispatch other resources, allowing us to
21 basically restore the energy and the storage device, and
22 be ready for the next contingency event. The way the
23 operating reserves works is, if you deploy your
24 operating reserve for a contingency, you have to deploy
25 it in 10 minutes, but then you have basically the

1 balance of the hour to restore it.

2 CHAIRMAN WEISENMILLER: Right, so I assume that
3 operational reserves are primarily your CTs?

4 MR. ROTHLEDER: CTs play a role in the non-spin;
5 oftentimes, the spinning is being provided by hydro
6 resources, resources that are already spinning, some
7 steam resources. So, the CTs are good for providing
8 that non-spin.

9 CHAIRMAN WEISENMILLER: Okay. Now, the other
10 sort of contingency, what you mentioned is sort of the
11 over-generation issue.

12 MR. ROTHLEDER: Yes.

13 CHAIRMAN WEISENMILLER: So, you know, given
14 again, say this month as we're moving into the high
15 hydro periods, and you have the potential ramps up or
16 down in renewables, how do you deal with over-
17 generation? And what's the role of storage in
18 responding in that contingency?

19 MR. ROTHLEDER: So, over-generation condition,
20 first, obviously, we don't consider it a contingency,
21 it's you kind of develop into it as your supply exceeds
22 your demand. Currently, we have storage devices, the
23 large hydro storage devices at those times when we start
24 to see the generation exceed the demand, we'll start to
25 dispatch and turn on the pump devices to consume some of

1 that over-supply. To the extent we run out of the
2 ability to turn the pumping devices on, we then
3 basically are utilizing market mechanisms. In the first
4 place, you'll start to see prices basically drop below
5 zero. Right now, our bid floor is -30, so we are
6 starting to now at that point sell or pay people to
7 basically take the energy either off the ISO grid, or
8 consume more. To the extent there are devices that can
9 actually be ready to consumer more, such as storage
10 devices, and be prepared to be compensated for storing
11 or consuming that energy, that's one form of managing
12 the over-generation condition. If we get to the point
13 where we've exhausted our market mechanism to back
14 everything down, there then becomes procedural
15 mechanisms where we may have to basically tell a group
16 of resources, or all resources, to start backing off
17 and/or shutting down to balance the system. That starts
18 to come into the realm of an energy condition where we
19 have over-generation. I wanted to say that some of the
20 things that we're doing on the bid floor to incent more
21 curtailment of renewables and incent resources that are
22 able to store, we are considering lowering our bid floor
23 to something in the neighborhood of negative \$100 or
24 \$200 to overcome some of the incentives that some of the
25 renewable resources have for actually producing.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 CHAIRMAN WEISENMILLER: Yeah. I assume, unless
2 you do that, what will happen is the renewables will
3 generate, but instead of backing out fossil fuel and
4 reducing our fossil fuel use and our greenhouse gas
5 emissions, that we just continue to generate and sell
6 the power at a loss, so we don't get the environmental
7 benefits, or both the environmental and economic costs
8 associated with the additional renewable generation, in
9 those conditions without the storage.

10 MR. ROTHLEDER: Right. Certainly, storage
11 devices that we can store the energy and use it during
12 peak times that will shift that ability around, so that
13 is a good use.

14 CHAIRMAN WEISENMILLER: Well, I think I've hit
15 my points. Thanks.

16 COMMISSIONER DOUGLAS: All right, I have no
17 further questions. Thanks for being here.

18 MR. ROTHLEDER: Thank you.

19 CHAIRMAN WEISENMILLER: My other Commissioner
20 has a question.

21 COMMISSIONER PETERMAN: Hey, Mark, good morning.

22 MR. ROTHLEDER: Good morning.

23 COMMISSIONER PETERMAN: Just a quick follow-up
24 question for you. When reviewing the list of energy
25 storage technologies in the presentation, some seem more

1 suited to readily be dispatched by the ISO than others,
2 and I was wondering if you could comment, in particular,
3 on how you would aggregate electric vehicles and use
4 that as a dispatchable storage device.

5 MR. ROTHLEDER: I think the first thing is, as
6 technology changes, and the tools that the ISO needs to
7 use, they need to be mature technologies and what we see
8 in terms of electric vehicles is potentially in the
9 future with smart charging capability, they start to
10 potentially act in a way with that capability if there
11 is monitoring the system, monitoring the signals, they
12 could provide things like regulation service, they could
13 also potentially time their charging so that you can
14 shift some of and take up some of that slack in an over-
15 generation condition. How that will all play out is
16 something that we need to continue to work together on
17 as the number of electric vehicles and the technology of
18 electric charging stations really evolves.

19 CHAIRMAN WEISENMILLER: Mark, I was going to ask
20 you one more question, thinking about that stuff. So,
21 we have talked about the three types of things,
22 obviously in terms of the variation in renewable
23 generation, you've seen 800 - it looks like in your
24 charts, you could see up to 2,000 of a swing in an hour.
25 And in terms of the more loss of generation and, again,

1 those are the large units, so it's about 1,000, how deep
2 an over-generation period have you seen? Or do you
3 expect to see?

4 MR. ROTHLEDER: From the studies we've done, it
5 looks like the over-generation condition is probably
6 going to be somewhere in the neighborhood of 500 to
7 1,000 megawatts at times. And it really does depend on
8 the way the patterns are with the wind producing at
9 night, if you get into that springtime period with the
10 spring runoff, and you have the combination of the high
11 hydro flows, low load, high wind production, that's
12 going to be the worst time in terms of over-generation
13 conditions.

14 CHAIRMAN WEISENMILLER: Assuming that nukes are
15 out or not out on maintenance -

16 MR. ROTHLEDER: Well, oftentimes, yeah, the
17 timing of those maintenance are sometimes good in the
18 sense that they do come in the spring. When they come
19 back for maintenance, we do see times where they do
20 exacerbate the over-generation conditions.

21 MR. GRAVELY: Yeah, the question was in general,
22 the East Coast ISOs and how California is addressing the
23 FERC requirements as compared to the other ISOs.

24 MR. ROTHLEDER: Yeah. I think with our recent
25 developments of the regulation energy market system, and

1 some of the changes that we've made, I think we're
2 probably catching up to some of the things that are
3 happening at the other ISOs. I will say that other ISOs
4 that do have capacity markets have incorporated storage
5 demand response into those capacity markets. In
6 California, with the capacity being acquired through the
7 resource adequacy mechanism, there is not - I think that
8 needs to potentially evolve to incorporate some of these
9 other devices. So, I think we're, in terms of meeting
10 FERC directives, we're in the progress of responding to
11 some of their more recent directives. Some of the
12 recent directives are becoming a bit more challenging in
13 terms of how to consider and dispatch demand response,
14 non-generator resources, and how to price that into the
15 system and when do you start dispatching that. There is
16 some interaction and interplay with all the ISOs with
17 FERC on that subject, and we'll be looking forward to
18 understanding better how to do that.

19 MR. GRAVELY: So, before our next speaker, I
20 want to add one thing. This comment has come up a
21 couple times, and for those of you that did not
22 participate on November 16th, we had a considerable
23 discussion there about automation of demand response and
24 the capability of Auto-DR to serve as an ancillary
25 service. Most people are familiar with DR as a load

1 reduction, load shifting technology, we've been doing
2 research in the PIER Program for over eight years, and
3 as we automated demand response, we realized the
4 response could occur pretty fast and the current
5 technology range of 30-40 seconds, future technology
6 could be five to 10 seconds, and then it would last for
7 30 minutes or longer. So, when you look at that
8 performance, it's very similar to storage. So, we
9 started looking at using Auto-DR as a complement, or
10 alternative to storage, primarily because if you put the
11 system in for peak load reduction, and it's available
12 for anything, and the cost factor is substantially less
13 to use that, so when we talk about DR and Auto-DR, we're
14 talking about both as a peak load reduction load
15 shifting, and also as a potential ancillary service, and
16 there will be a short presentation in the afternoon from
17 the [inaudible] Research Center for a few minutes, just
18 recapping what we covered in November. Those who are
19 interested can go to the website, the script is there,
20 the audio is there, and all the presentations are there
21 to cover that because we did discuss it in a lot of
22 detail last time.

23 We're now going to shift to a presentation by
24 the Department of Energy. We're fortunate to be in a
25 timeframe where there are more large storage projects

1 currently being demonstrated in the history of - I've
2 been involved in storage for 20 years, this is the most
3 I've ever seen. And the good deal is that 2010 was kind
4 of the contract award phase, 2011 is now the
5 demonstration performance phase, so a lot of these
6 projects are now reaching installation phase and getting
7 into the actual phase of putting the systems in, and
8 we'll start to see their performance.

9 We're going to have a presentation now by WebEx
10 from Michael Kintner-Meyer for Imre Gyuk and will
11 provide a quick review of all the activities DOE has in
12 this area, and what they're learning, and where they're
13 going forward. So, Michael, are you online?

14 MR. KINTNER-MEYER: yes. I am on the line. Am
15 I advancing the slides? Or are you doing it from your
16 side?

17 MR. GRAVELY: I think we're going to do it here,
18 so just confirm what slides you want us to have and
19 we'll be advancing them here.

20 MR. KINTNER-MEYER: Okay. Thank you very much,
21 Mike. I'm delighted to stand in for Imre Gyuk, who is
22 leading the Energy Storage Program at the Office of
23 Electricity, Department of Energy. I'm trying to the
24 best of my ability to convey the tenor that he would
25 have given to this presentation. There will be several

1 questions that I may need to refer to him at the end of
2 this presentation.

3 PNNL is part of the laboratories supporting Imre
4 in his project; I'm personally supporting him with Grid
5 Analytics. Next slide, please. Imre usually starts off
6 there by quoting a couple of important people there as
7 to what has changed to the recent years with respect to
8 energy storage, and he shows there statements by these
9 three fairly important people with very powerful
10 messages, and as an indication that the notion of
11 research, as well as the actual application of energy
12 storage has changed in the last two years. Next slide.

13 This slide shows the role, the Federal role for
14 the eventual implementation of deployment of energy
15 storage, starting from basic research that the
16 Department is doing in collaboration with the Office of
17 Sciences, looking at materials to advance the technology
18 to a systems design of a lower cost and higher
19 performing batteries, which then is under there with the
20 right of regulatory framework as we see here through
21 FERC Order 890, the California mandate that you see
22 here, as well as tax incentives from the Federal
23 Government as we're seeing there in the bill that was
24 introduced by Senator Bingham, the Energy Storage Act of
25 2010, which is still in discussions.

1 So we're seeing a trend from a regulatory
2 environment, certainly not quite complete, under verdict
3 [ph.] with funding for the technology, as well as
4 demonstrations and loan guarantees to bring the
5 technology into the marketplace. Next slide.

6 Imre feels strongly about the change there in
7 the significance and recognition there of energy storage
8 as a catalyst of not only addressing the issues that we
9 have heard Mark, the previous speaker, articulating for
10 the California ISO, but fundamentally being able to
11 operate the Grid in different ways because of the
12 special characteristics that we have not really had
13 before. There has been some collaboration there between
14 the Federal Government and the PIER Program through an
15 MOU with the CEC to collaborate on various levels, and
16 hopefully this will continue in the future. One of the
17 collaborations there centers around demonstration of
18 flywheels, that involves the California ISO. Next
19 slide.

20 To establish a roadmap for the Federal
21 Government with respect to a design of a program to
22 support energy storage from a technology innovation
23 point of view to the eventual deployment, the Office of
24 Electricity conducted two workshops last year, one that
25 looked at utility requirements, what does the utility

1 need, what are the costs, targets, what are the
2 performance targets to be competitive and cost effective
3 as a Grid asset, and then also from a science and
4 technology innovation point of view, looking at new
5 materials and systems of how to put these technologies
6 together into reliable and cost-effective technologies.
7 These two workshops produce some individual reports,
8 which are available and are now influencing the energy
9 storage roadmap or program planning document, which was
10 published in February and is also available on the
11 website. Next slide.

12 As far as the appropriateness of energy storage
13 is concerned and the specific operational
14 characteristics, we're seeing a broad spectrum. It is
15 driven by different applications, so we have variable
16 products, iPods which require energy storage to hybrid
17 vehicles, military applications to utility applications.
18 So that spans a whole several orders of magnitudes in
19 the power requirements and, therefore, will most likely
20 require different technological solutions for different
21 applications because of the disparity in the
22 requirements regarding footprint, energy density, as
23 well as the footprint for the installation of the
24 devices.

25 So, we would expect that the materials and the

1 electro chemistries necessary to meet these different
2 operational requirements may differ and, in fact, we're
3 seeing quite a plethora of different technology
4 innovations for specific applications. Next slide.

5 You have seen this slide many times, let's step
6 and go to the next slide, please. Let me talk about
7 several of the Stimulus activities and go into a little
8 bit more detail as to what the Office of Electricity
9 through the Stimulus factors is supporting. The total
10 budget from the Federal Government, \$185 million,
11 supporting new projects and scaling really up to
12 demonstration by a factor of 10, which raises the
13 expectations that we will get significantly more insight
14 in how the different new technologies work, how they're
15 being applied, what are the lessons learned, what are
16 the business models being applied, what are the
17 degradation characteristics of individual technologies,
18 how many different services can one technology capture
19 as they're being deployed and experimented with. You're
20 seeing there some spectrum of different technologies for
21 different applications, large batteries, compressed air,
22 some very large devices, frequency regulation,
23 distributed project with smaller devices, and other
24 technology development. This entire Stimulus package is
25 required from cost sharing and actually exceeded the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 expectation of the 50-50 cost sharing, and leveraged
2 three times - almost three times the investment by the
3 Federal Government. Next slide.

4 I'd like to go into some of the applications as
5 we see them being deployed through the demonstration of
6 projects that are funded by ARA. The first voltage and
7 frequency regulation market that we're seeing is already
8 ready, we're seeing their companies deploying
9 technologies and actually making some money. Next
10 slide.

11 The fundamental primacy of regulation services
12 is very similar to what Mark indicated, a means by which
13 we balance to maintain frequency, the utilities have
14 been doing this for a long time with the intermittencies
15 of renewables, those regulation services are expected to
16 increase and we think there is a market for some storage
17 devices. Next slide.

18 So we're seeing some demonstration and it
19 started off with some flywheel demonstration that is
20 seen in the upper left corner, in a trailer to 100
21 kilowatts of flywheels that was collaborated there with
22 the CEC, and through the ARRA project, this has been
23 upsized now to 14 megawatts that will happen in the PGM
24 footprint, going on to an expected 20 megawatts. There
25 are lithium ion experiments done with two one megawatt

1 units with energy capacity of 15 minutes, and the
2 lessons learned from these early demonstrations really
3 culminated there in two major outcomes, one of which is
4 that if regulation is done by fast responding Grid
5 assets, that the effectiveness that it provides to the
6 Grid is what is estimated to be twice as much as that of
7 a gas turbine, so speed of responsiveness has a value.
8 The second outcome is that, if you take away the
9 requirements from some thermal power plants to go up and
10 down, you can keep them at a much more steady
11 performance, steady output, rendering higher
12 efficiencies, as well as lower emissions. And so the
13 variability could be offloaded to the energy storage,
14 and would improve the overall emissions footprint. Next
15 slide.

16 This is some rendering of the Beacon Tower
17 installation, again, that is a 3-D image showing what it
18 will look like. This installation is for a frequency
19 regulation services and the PGM footprint on the lower
20 right-hand side you are seeing here the flywheels, the
21 individual flywheels, and are composed together to make
22 up 20 megawatts. Next slide.

23 Just another picture on the upper left corner of
24 the Beacon power plant that's currently - that's
25 actually on line, that is the 14 megawatts, and on the

1 lower right-hand corner you're seeing the AES
2 installation with A-1 through 3 batteries, a total of 20
3 megawatts providing regulation services for the New York
4 ISO. What you're seeing, actually, is eight megawatts,
5 about two megawatts per trailer, that will be added to -
6 - the additional capacity will be added to make up a
7 total capacity of 20 megawatts. Next slide.

8 Peak shaving energy management and
9 infrastructure operate deferral. Imre sees this as near
10 commercial, in other words, cost performances are not
11 quite there to be fully competitive, but we do see some
12 demonstration to target that application, as well. Next
13 slide.

14 On the upper portion of the picture, you're
15 seeing an application of a sodium sulfur battery that
16 has significant energy capacity of six hours maintaining
17 an output of 1.2 megawatts where this is deployed for
18 several years at a substation to reduce the overall
19 loading on the substations. This was installed as an
20 alternative to upgrade the substation primary
21 transformer, and it's still in operation. Next slide.

22 On the distributed side, those are smaller
23 devices placed either at the substation or further down
24 in the distribution feeders, various different
25 technologies are being tested, you're seeing here the

1 different electro chemistries and the different sizes.
2 Key applications are peak demand shifting, but can also
3 provide regulation services to a point of aggregation
4 that would meet the ISO market threshold of a megawatt,
5 so you can aggregate those up if they have direct
6 control to a Grid operator to be utilized for Grid bulk
7 power services. Other applications are for smoothing
8 and assisting voltage issues in the distribution
9 feeders, and sometimes you get protection issues by
10 reversing the power flow upstream, and with energy
11 storage down in the feeders that could be prevented.
12 Next slide.

13 This is a three megawatt frequency regulation
14 demonstration in Eastern Pennsylvania where advanced
15 lead carbon batteries are being tested. In the upper
16 left corner you're seeing in red the cycle and
17 degradation behavior as a function of cycles, and you're
18 seeing that these new batteries, the new lead batteries
19 performing much longer, as opposed to the conventional
20 lead acid battery as shown here in blue. Next slide.

21 This is a representation of AEP's community
22 energy storage system. Here, the value is co-locating
23 it right next to a secondary transformer that provides
24 electricity to three, four, five homes, and the battery
25 there is providing smoothing capabilities, again issues

1 there for voltage control down in the feeders, as well
2 as frequency regulation capabilities if coordinated in a
3 central control paradigm. Next slide.

4 Another application of community energy storage
5 systems in the DTE or Detroit Edison's service
6 territory, here co-located with photovoltaic
7 installation at a community college, you see here A-1,
8 2, 3 batteries, small size batteries, 25 kilowatts
9 output for two hours, that was sized to help us smooth
10 the output from the photovoltaic arrays. Next slide.

11 Different - I think we can go to the next. We
12 also are seeing the convergence of transportation
13 batteries being utilized in the stationary energy
14 storage system A123, for instance, past transportation
15 batteries provides transportation energy storage
16 devices, and is also looking at stationary storage
17 applications with fundamentally the same electro
18 chemistry. The Department of Energy is funding a
19 activity that is looking at the reuse of electric
20 vehicle batteries, as you see here the general
21 participants. The notion is that, from a transportation
22 purpose, the battery reduces its capacity by 80 percent,
23 so, in other words, if the original battery provides
24 less range than 80 percent of the original design, it
25 will be replaced with a new battery. The old battery

1 can then be re-packaged for stationary application, and
2 the viability of doing that and the economics of it is
3 being investigated by these partners in that consortium.
4 Next slide.

5 So there is a forthcoming report coming out in
6 Oak Ridge, a report looking at the economic factors, net
7 present value analysis of such a value proposition, so
8 it's repurposing transportation batteries for the
9 purpose of supporting the Grid. Next slide.

10 Renewables Dispatch, Smoothing, Ramping and Peak
11 Shifting. This is a key driver of the discussions that
12 we're having. Next slide. So we're seeing the
13 Department of Energy through their ARRA project is
14 supporting three large battery demonstrations there that
15 are coupled with wind projects. Next slide. So one is
16 with Primus Power, a 25 megawatt three-hour battery
17 plant in Modesto that is operated by the irrigation
18 district, California Irrigation District, firming up
19 wind and thereby replacing a \$25 million gas-fired
20 generation plant, so this is a flow battery, and the
21 value that it is trying to capture here is wind
22 smoothing. Next slide.

23 Similar application, Southern California Edison,
24 collaborating with A123 on the lithium ion battery, that
25 will be located at a substation close to the Tehachapi

1 Wind Power Plants. The primary purpose is wind
2 smoothing, and there will be other controlled strategy
3 tested during the lifetime of this project. Next slide.

4 Compressed Air Energy Storage. Okay, it's a
5 mature technology. Two power plants operating for
6 several years, one in Germany and the other one in
7 Alabama, I think that technology is fairly well matured.
8 Additional geological formations are being explored here
9 in the United States and the ARRA funding mechanism is
10 supporting that activity. Next slide.

11 This is a collaboration with NYSEG in New York
12 State, again, the activity centers around finding the
13 appropriate geological formation and cavities to provide
14 the right encapsulation for compressed air to be stored
15 and in the right vicinity of transmission lines, and
16 wind, so that potential congestion issues might be
17 avoided. Next slide.

18 This is the PG&E compressed air energy facility
19 activity. Again, here it is identifying the right
20 geological formations, the right placement of the cavity
21 of the storage medium, several different depleted grass
22 fields are available and the activities are beginning to
23 look at geological formation testings. Next slide.

24 Pump hydro, we're seeing here overall some
25 interest in pumped hydros, several different projects,

1 particularly in the west, have been applied for
2 permitting with FERC. Currently we have 20 gigawatts on
3 line, several more gigawatts are in the permitting
4 stage. Again, a fairly mature technology, this,
5 however, as mentioned before, some new pumping
6 technology being tested that has variable speed pumping
7 capabilities to allow balancing services or regulation
8 services in both modes, pumping as well as power
9 generation providing a broader application opportunity
10 for a pumped storage.

11 We're seeing on the right side an interesting
12 plan by grasslands, they're trying to aggregate a pumped
13 hydro with wind to have dispatchable green power, so
14 where the generation from wind plants will be bundled
15 with storage to make it dispatchable and firmer. The
16 idea is to build additional DC lines to Los Angeles to
17 serve the California market. Next slide.

18 Imre used this slide as a reminder that energy
19 storage could be in the form of cold storage or ice
20 storage for peak demand reduction and even some
21 researchers looked at using it for regulation services,
22 as well. So it doesn't necessarily have to be electric
23 energy storage, there's also opportunities in very very
24 conventional ice storage that the industry has deployed
25 and maybe there's a renaissance of thermal energy

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 storage that we're seeing there for commercial
2 buildings. Next slide.

3 Some new technologies on the horizon. I'd like
4 to mention that the DOE program is also supporting
5 technology development and materials, the development of
6 new materials for the next generation of stationary
7 energy storage. We are seeing here five new
8 technologies that are coming to the fore, and being able
9 to be tested as prototypes, sodium ion batteries, new
10 advanced flywheels, we're seeing some iron chromium
11 redox electro chemistries, and additional lithium ion,
12 and then an interesting compressed air storage that has
13 nice characteristics with respect to avoiding to use gas
14 as the energy storage is discharged. Next slide.

15 This shows the aqueous sodium ion battery. The
16 key here is this is relatively low cost. Sodium
17 material can be utilized with relatively high energy
18 efficiency. The challenge is to provide the lifetime
19 necessary to compete in the marketplace. Next slide.

20 We're seeing here yet another, a different
21 electro chemistry being deployed that has a fairly high
22 energy density, and therefore the capability to reduce
23 the materials cost for developing and for building such
24 a device. Next slide.

25 This is a compressed air technology that is

1 utilizing hydraulics, so it is an isothermal process
2 that doesn't need to have reheating as the air expands,
3 and therefore can be operated without using additional
4 gas during the expansion process. Next slide.

5 So, the overall premise of the DOE program is
6 aggressively furthering the market pool through
7 analyses, Grid analyses, articulating value proposition
8 for different market niches, as well as technology
9 pushed by advancing technology into innovations, and
10 demonstrating it in the field. Next slide.

11 So, the goal is, as Imre states, to make energy
12 storage ubiquitous in the Grid. Next slide. I think
13 the last slide has some resources of the program.
14 Sandia has a website dedicated for hosting all of the
15 information that is published through the DOE Energy
16 Storage Program. There is a handbook and Imre likes to
17 remind people that the next Energy Storage Application
18 Technology Workshop is coming up in October this year in
19 San Diego. I think that is the last slide.

20 CHAIRMAN WEISENMILLER: Okay -

21 MR. KINTNER-MEYER: Happy to answer any
22 questions.

23 CHAIRMAN WEISENMILLER: This is Chair
24 Weisenmiller again. First, I'd like to really thank you
25 for your participation in this. You've certainly given

1 us a lot to think about, and also we'd like to thank you
2 for your joint activities with our PIER Program, and for
3 helping get some demonstration projects in California.
4 I mean, as you indicated, we are certainly pushing the
5 envelope on a lot of the renewables, so we see this
6 state as a good test bed for some of the storage
7 technologies.

8 A few questions. The first one is, I noticed
9 you quote Secretary Chu about the need for technology
10 breakthroughs for large scale energy storage. Again,
11 it's back to that basic question of do we need volume,
12 or do we need technology breakthroughs at this point,
13 realizing that there's a plethora of applications, a
14 plethora of technologies, so it's hard to generalize,
15 but what do we really need now, volume or breakthroughs?

16 MR. KINTNER-MEYER: It's a good question. At
17 the end of the day, I think that if the market signals
18 are set properly, it may work this out by itself. I
19 think what has been mentioned there early on is that
20 this is not the only technology rubric of providing Grid
21 flexibility to the electric power system. I think we've
22 seen there, particularly with the emerging electric
23 vehicle fleet, opportunities to address all of the three
24 issues that Mark from the California ISO addressed,
25 over-generation by charging, by having new load come on

1 line most likely at night, when these low load
2 conditions occur, ramping capabilities, the load can
3 respond much more quickly than a thermal energy storage
4 even than a pumped hydro or hydro power plants, and
5 certainly can provide regulation services, as well. So,
6 as to the question of how many gigawatt hours do we need
7 in terms of stationary energy storage system, is still a
8 question. We're trying to address the total market size
9 in our upcoming efforts supporting the DOE program, by
10 looking at from a cost-effectiveness point of view as
11 we've seen, new requirements being driven by the
12 intermittency problem, nationwide, what would be a
13 prudent deployment strategy that is cost-effective for
14 stationary energy storage, so that we'll look at
15 existing capabilities and the potential retrofitting of
16 existing capacity to make them more flexible, as well as
17 transmission expansion, as well as Smart Grid
18 technologies on the load side.

19 CHAIRMAN WEISENMILLER: Okay, the next question
20 is, you mentioned pump storage and you mentioned the
21 variable speed pumping problem. California has a couple
22 of very large pump storage facilities already, Helms-
23 Castaic, for example, we also have a lot of poundage
24 hydro as opposed to the run of the river in the water
25 system. Is there any effort at this point to come up

1 with demonstrations for cheap retrofits of those
2 facilities to make them more efficient or more useful in
3 the current needs of storage for renewables? That
4 seemed to be an area where you don't really have a demo
5 but, again, we have existing facilities that, if we can
6 convert, that would give us lots of capacity very fast.

7 MR. KINTNER-MEYER: Yes. There is a recent
8 announcement, a funding opportunity announcement, by the
9 Department of Energy, it just hit the road on April 5th,
10 that comes out of the Office of Energy Efficiency
11 Renewable Energy, the Hydro Power Program Office, and
12 it's charging toward valuation of advanced pumped hydro
13 and conventional hydro power plants, and they specify
14 this for the WECC to be demonstrated in the WECC as a
15 opportunity for funding, so there is a deployment
16 activity embedded in it, as well as an analytics
17 element. So the Department, not through this program,
18 but through the Energy Efficiency Program, is addressing
19 this.

20 CHAIRMAN WEISENMILLER: That is very good. The
21 other question was that, on your slides you indicated
22 some of the storage projects are getting loan guarantees
23 from the Federal Government to move forward. I assume
24 that deals with the perception that the technology has
25 some risk and that the financial community is looked for

1 those types of guarantees? Is that the case for the
2 flywheel and the lithium ion battery projects?

3 MR. KINTNER-MEYER: I need to refer that to Imre
4 as to what the rationale for selecting these projects
5 are.

6 CHAIRMAN WEISENMILLER: Okay. And the last
7 question was, you've got a lot of very interesting
8 demonstration projects going on here. So far, have
9 there been any surprises in terms of the actual
10 performance as opposed to the expected?

11 MR. KINTNER-MEYER: Most of the - the contracts
12 have been put in place last year and they're just in the
13 procurement process, it's a little too early to get even
14 preliminary information. So it's a little early.

15 CHAIRMAN WEISENMILLER: Okay, thanks.

16 MR. KINTNER-MEYER: But there will be
17 forthcoming the entire projects have a five-year
18 lifetime and information will be made available through
19 the National Energy Technology Laboratory.

20 CHAIRMAN WEISENMILLER: Great. Thank you for
21 your participation today.

22 MR. KINTNER-MEYER: Thank you.

23 MR. GRAVELY: Thank you very much and we
24 appreciate it, and feel free to continue to listen in
25 and we'll have a chance later also for comments or

1 questions if you have some.

2 We're now going to shift to the first panel and
3 we have three speakers in the panel. The speakers can
4 provide opening comments. I'd like to try and keep
5 those comments to less than 10 minutes each, as
6 necessary, so we have a chance for some discussion. So
7 if I can get Amanda, Mark and Dan to the table here, if
8 you can speak from the table, the mics are live, or you
9 can speak from up here, however you want. If you have a
10 presentation, you can, again, speak from up here or we
11 can actually do it, so we'll go with the presentations
12 in the order. First, we'll hear from the California
13 Energy Storage Alliance, Amanda Stevenson, and then we
14 will hear from Mark from the ISO, and Dan from EPRI, and
15 then I'd like to be able to have some time for questions
16 and discussion. We have some questions already proposed
17 in the agenda, but I'd like to get a chance for the dais
18 to ask questions and we'll go to those questions if
19 everything is answered. So, we'd like to have a little
20 more chance for dialogue this time, so please hold your
21 form of comments or your presentations to 10 minutes or
22 less.

23 MS. STEVENSON: Hi. I'm delighted to have the
24 opportunity to stand here and discuss the importance of
25 energy storage to California's renewable future on

1 behalf of CESA and Xtreme Power. A little bit about
2 CESA. Our mission is to expand the role of storage
3 technology to promote growth of a renewable energy to
4 create cleaner and more affordable and reliable electric
5 power system. Our core principles for a healthy market,
6 technology neutrality, ownership and business model
7 neutrality, and as we do have limited resources, we do
8 have to be very focused in our efforts working with the
9 California Legislature, CPUC, CAISO, CEC, CARB and FERC.

10 To date, one of the barriers of storage are the
11 silos and the decisions that are made in the silos that
12 determine the market structure and compensation for
13 energy storage, so there is a need for regulatory focus
14 on storage to make positive changes to California's
15 current Grid.

16 Grid storage leaders founded CESA in January
17 2009. CESA is a broad coalition, currently 37 members
18 strong, and spans pretty much every storage technology
19 available.

20 A little bit about my company, Xtreme Power,
21 we're a U.S. based, vertically integrated developer, a
22 manufacturer of dynamic power resource, which is a
23 utility scale, battery-based energy storage system, 20
24 years of R&D in our technology, tested and proven,
25 projects operating, contracted, and final negotiations

1 in more than 70 MVA and more than 60 megawatt hours. We
2 have U.S. based manufacturing in Oklahoma and Texas.
3 And as we can see here, energy storage is a very broad
4 asset class, it is very diverse - mechanicals,
5 flywheels, pumped hydro, electrochemical, advanced lead
6 acid batteries, thermal molten salt and chemical,
7 different types of storage have different types of
8 characteristics, all for very particular uses.
9 There are many options from Grid scale to smaller DG
10 batteries. While there are many new technologies, let's
11 not forget that storage has been around for decades and
12 decades and is quite a mature industry, but what is new
13 is its applications to the Grid.

14 So, as you can see, there are a lot of
15 commercially available technologies that you can put
16 onto the grid right now, and they all have a role to
17 play on our grid. There is not an issue or a question
18 of commercial readiness, it is deployable now.

19 Why energy storage in the U.S.? We do have
20 Renewable Portfolio Standards here in California. There
21 is legislation in the background that encourages the
22 valuation of storage procurement targets, but
23 implementation of AB 2514 can better be assisted with
24 the CEC's leadership and direction on which application
25 and storage - and there are many - to prioritize and

1 focus on. California needs the CEC's support to
2 accelerate near term deployment of more energy storage.
3 The logic being, if you have more projects on the ground
4 and progress, you will have more informed implementation
5 of AB 2514.

6 There are a lot of things the CEC has already
7 done with their support of renewables with special
8 financing programs and incentives, but the opportunity
9 now is to be a leader in California and spur the action
10 in near term.

11 I know Michael did go through some of the
12 fundamental key policy initiatives in California, so I'm
13 going to focus on AB 2514 and AB 32 Global Warming
14 Solutions Act of 2006. AB 2514, an unprecedented energy
15 storage portfolio standard, establishes energy storage
16 requirements for the IOUs to integrate 20,000 megawatts
17 of new renewables onto the grid, and to help deal with
18 peak demand and the dirty peaker plans. What the bill
19 does is it directs the CPUC to convene a proceeding to
20 evaluate energy procurement targets, if any, if
21 commercially feasible and if cost-effective. I think
22 when we start focusing on storage, a lot of those ifs
23 will go away.

24 CAISO is holding stakeholder sessions to ensure
25 that California will allow applications for storage, as

1 we did hear Mark earlier, state that storage
2 technologies provides a flexible resource for
3 maintaining reliability, and FERC recently opened a new
4 rulemaking on ancillary services that would pay DR
5 storage and other fast acting ancillary services for
6 their speed.

7 So, why energy storage now? It can meet RPS
8 more efficiently with storage. My diagram here shows we
9 can meet RPS without storage, we increase a percentage
10 of renewable penetration, which will then increase the
11 regulation requirements, which will then increase the
12 thermal generation production and will further dilute
13 the percentage of renewable production. To reach its 33
14 percent RPS, CAISO must increase regulation by 165
15 percent, and I do have the cites on the bottom if you
16 guys would like to look at the White Papers done on that
17 study. To meet RPS with storage, increase the
18 percentage of renewable penetration, increase regulation
19 requirements, increase zero low sustain limit ancillary
20 services with storage, and then you achieve the
21 Renewable Portfolio Standard.

22 Other key drivers of growth for Grid storage. I
23 know it's a pretty advanced group here, but I wanted to
24 point out some of the underlying key drivers for the
25 foundational legislation. Firstly, peak load growth;

1 obviously, as population grows, peak demand grows,
2 especially in California where air-conditioning is
3 utilized. The peak dictates T&D cost and that is a
4 significant chunk in the electric cost associated with
5 the power Grid. CEC predicts that average peak demand
6 will grow by 1.3 percent to 1.4 per year between 2008
7 and 2018, with residential peak growing at 1.9 percent
8 per year.

9 Smart Grid, every definition of the Smart Grid
10 includes storage as it is really difficult to have a
11 reliable Smart Grid if you don't have storage.
12 Renewables integration, storage and renewables can work
13 synergistically together to optimize the current grid.
14 And transmission constraints, this is the perennial
15 problem, California is famous for its Nimbyism, everyone
16 likes to have their TVs, computers, and appliances
17 plugged in, but they don't want wires in their backyard.
18 So, every storage will help in the investment of the
19 public electric power system that we already have.

20 Another key driver, Global Warming Solutions
21 Act, 2006, AB 32, it reduces GHG emissions. The main
22 driver of storage that the environmental communities are
23 excited about, that storage has the ability to
24 dramatically reduce GHG emissions. The brown line here
25 shows the tons of CO₂ emitted per megawatt hour on a

1 variable basis of our peaker plants. Those are the
2 plants that generate electricity on peak that tend to be
3 less efficient and generate more emissions. Then, the
4 aqua line shows baseload plants or fossil plants, so
5 this shows the difference throughout the year. So, even
6 in the wintertime, peakers are not as clean as the
7 baseload. The state is consistent throughout three
8 investor-owned utilities, so you can imagine charging
9 your storage system with baseload energy at night and
10 displacing these peakers with energy storage, you would
11 have an improvement in air quality.

12 So, why energy storage and renewable
13 integration? Enhancing renewables with the Grid scale
14 energy storage promotes reliability and sustainability.
15 Energy storage can transform variable generation into
16 dispatchable or baseload generation, all while
17 generating no emissions and without using nonrenewable
18 fuels. And in the essence of time, I won't read every
19 bullet point.

20 There is a value in intelligent, accurate, and
21 sub-second power management, increases delivery from
22 renewable generation, helps to achieve RPS, fast-acting
23 ancillary services, it's more efficient, and an economic
24 solution for Grid reliability. Of course, ramp rate
25 control, renewable capacity firming, it can shave peak

1 demand synergistically, and it is emission free peak
2 capacity.

3 Frequency regulation, why is it important?
4 Balances fluctuation and load and variable energy
5 resources, maintains Grid frequency, and critical for
6 any Grid sustainability and operation. So, why is
7 storage a great solution? It's an instantaneous fast
8 response, it provides no unintended energy to the Grid,
9 and it is high efficiency. Benefits of fast response,
10 storage is two to three times more effective than a
11 peaker, it's faster, more accurate, generation must
12 chase the faster moving load, and conventional
13 generation can provide regulation in the wrong
14 direction.

15 Energy storage can provide peaking capacity
16 without fuel use, water use, emission pollution, and
17 being located fair from the load. CT's in California
18 are generally sited far from population because of the
19 emission issues; energy storage peakers could be stored
20 near loads, which would be much more efficient.

21 Storage can shave peak demand synergistically
22 with renewables and here is a solar example, and as AB
23 2514 covers all applications of storage and details are
24 to be worked out by the CPUC, but I wanted to take a
25 moment to talk about distributed and small renewables

1 that can be powerful and have a Grid scale impact to our
2 system. This chart from EPRI shows a day in the life of
3 the CAISO and what would happen to our load shape with
4 storage as it fluctuates. The black is the load shape,
5 blue is the net of the California solar initiative, and
6 the red is what our load shape would look like on a
7 sunny summer day if 5 kilowatt hours of storage were
8 installed for every kilowatt hour - I'm sorry, excuse
9 me, every kilowatt hour storage, and that's pretty
10 impressive because there are a lot of costs, it's
11 bundled into the peak right here. And I wish I had a
12 little pointer, but I don't.

13 Real projects, real solutions, not just R&D,
14 here I want to show, at XP, that we do have seven
15 projects that are either operating now or are in the
16 design phase in 2011, various services, peak shaving
17 load leveling ramp rate control ancillary services.
18 This is one of our wind farms at Kaheawa Wind Power on
19 Maui, it's the first utility scale DPR that operates 30
20 megawatt wind farm and the service for that is ramp rate
21 control.

22 I guess I'll run through the proof of
23 performance and this was discussing the wind ramps up
24 and the state of charged storage absorbing power, and
25 when the wind ramps down, storage discharges their

1 power, always constantly holding that state of charge.

2 I'll run through these.

3 Here is our Kahuku wind farm on Oahu and this is
4 operating to meet PPA ramp control smoothing
5 requirements, and the reason I wanted to show you this,
6 I just wanted to show you that it's not still R&D, that
7 we do have real projects in the ground, and we are
8 getting data from these projects. This was actually
9 taken last month during our commissioning event where
10 there were four wind turbines that tripped off line
11 causing an 8 megawatt drop in power, you can see in the
12 green; the red line was our DPR, Dynamic Power Resource,
13 and what the utilities saw the total park power
14 controlled that ramp rate. So, even with better
15 forecasting efforts, your ramps and trips can be scary
16 for the ISO and that's where storage can come in.

17 And this is our last slide here, our Duke
18 Notrees project, it's the largest battery energy storage
19 system in the world. We partnered up with Duke and with
20 the DOE funding, and this system is being designed to
21 optimally dispatch production from a wind farm to
22 provide system balancing and ancillary services to the
23 interconnect. And it will be instrumental in
24 establishing cost and benefits in the ERCOT ISO in Texas
25 by verifying technical performance and validating system

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 reliability and durability at scales that will benefit
2 the increasing penetration of renewable assets
3 nationwide. So, we should do it here in California,
4 too, we'd like to bring some projects to California.

5 CHAIRMAN WEISENMILLER: Okay, thanks. I guess
6 the question I have for you is whether your applications
7 were project financed, or did they have DOE support, or
8 some support in this stage?

9 MS. STEVENSON: Most - well, the Duke Notrees
10 project was DOE financed, the rest were privately
11 financed.

12 CHAIRMAN WEISENMILLER: But were they project
13 financed or venture capital or -

14 MS. STEVENSON: Venture capital.

15 CHAIRMAN WEISENMILLER: Okay, thanks.

16 MR. GRAVELY: Mark, would you like to speak from
17 up here or -

18 MR. ROTHLEDER: No, I'll just be brief. I think
19 I said most of what I wanted to say in my original
20 presentation. Just that we got two things that are
21 happening, one is the variability of the system is going
22 to be increasing between now and 2020, while at the same
23 time the resources that provide the flexibility to
24 respond to that variability are reducing. We know the
25 once-through cooling resources will be either retired or

1 repowered, so I think between now and 2020 there will be
2 an opportunity to replenish and decide how we redesign
3 the system to support the flexibility needs of the
4 system. And I think our studies and our continuing
5 studies will help shed light on how much, what kind, and
6 hopefully that will help provide some information about
7 what kind of storage resources, and how much would be
8 needed.

9 CHAIRMAN WEISENMILLER: Thanks, Mark.

10 MR. GRAVELY: The next panel member will be Dan
11 Rastler from EPRI and he'll cover a quick little review
12 of the effort they're doing and how it fits into the
13 questions we have here for the need of storage. Thank
14 you, Dan.

15 MR. RASTLER: Thanks, Mike, and thanks for the
16 invitation to participate. I'm the Program Manager of
17 the Energy Storage Program at EPRI. We have a broad
18 industry collaborative of over 40 utilities currently
19 sponsoring the program. I'm very happy to be also
20 collaborating with the California Utilities as part of
21 our collaborative program. Many of my remarks this
22 morning really come out of our research program, and
23 I've sort of spun, I think, a lot of EPRI strategy and
24 sort of thoughts around these questions, right out of
25 our program, which is trying to address issues across

1 the country, not just in California, but there is a lot
2 of similarities, I think, to what we see here in
3 California, to what we see across the country. So, the
4 drivers. And, again, these are drivers we see with a
5 lot of our member utilities across the country, and I
6 won't dwell on these a lot this morning, we've already
7 heard about it, but obviously the three big drivers are
8 dealing with larger penetrations of intermittent
9 generation, managing the grid assets. The industry is
10 expected to spend over a trillion something dollars over
11 the next 30 years on infrastructure, and that could also
12 increase more as we try to manage renewable resources.

13 We're also seeing a lot, particularly in
14 California, a lot of penetration of distributed
15 photovoltaics down at the lower voltage regions of the
16 Grid. And storage is being looked at as a possible
17 option toolbox to deal with increased penetration of PV.
18 And, of course, as was just mentioned, the Smart Grid
19 and storage is an asset for managing the peak. So,
20 where is the role of storage in California? These are
21 some of the applications that came out of our research
22 findings, and a lot of these play into California and we
23 tried to look at applications where you could try to
24 understand the business case, and understand where is
25 the cost of storage to serve a problem in these

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 applications, and how do you go about stitching the
2 various benefits together. And I'll be talking about
3 that a little later in the second panel today.

4 Much of the work that I'm talking about today is
5 in a public White Paper that is out there, I encourage
6 you to look at that, it gets into the current landscape
7 of where energy storage is in the U.S., many of the
8 applications and demonstration projects that we just
9 heard about, that are underway. And also, looking at
10 these applications and how do you value them, and we've
11 tried to lay out a transparent framework and methodology
12 for trying to figure out how do we start to value
13 storage. So, some general perspectives. You know,
14 storage is challenging, there are options out here today
15 that are, I would say, grid ready and can find their
16 solutions, but many of the options we see really don't
17 meet some of the technical and performance targets we'd
18 like to see long term. So, our near term goal is to try
19 to figure out what are these key applications, what are
20 the functional and technical specifications for those
21 applications, to try to shape products that can really
22 meet these problem needs. We also need to test and
23 validate that these things really work, you know, some
24 of these are still coming out of the laboratory phase,
25 some really haven't been used in Grid solutions. We're

1 just starting to see, for example, you know, the
2 application of lithium ion batteries, we've got them in
3 our PC's and our laptops, they're starting to be
4 deployed in some small Grid-scale, but they're also
5 going to be deployed in larger Grid-scales, so we really
6 need to get a confidence level. And so, what I think
7 you're hearing from Imre's remarks and a lot of other
8 activities that are going on across the country is
9 utilities and various stakeholders are really testing
10 these things, trying to see do they really provide the
11 technical confidence for future business decisions. And
12 then, long term, we've really got to keep the technology
13 and the R&D pipeline going to really try to drive cost
14 down, and I will come back to the volume vs. production
15 question.

16 So, one of our questions, I think, in
17 California, is really looking at where does storage fit,
18 what are the application requirements for storage, and
19 try to send some really good signals to the market and
20 to developers to define and deliver products that meet
21 these applications and serve these needs. So, the
22 industry is trying to work through some functional
23 requirements and technical requirements. I think we
24 still have got a lot of work to do, particularly in the
25 wind and PV integration area. So, what can be done?

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 And I'll go through these pretty quickly. Storage must
2 be a complete product. Users don't want to have to
3 integrate systems together, they want a complete
4 functional system that's really Grid ready. So, as we
5 think about advancing storage in California, we really
6 need to be thinking about a complete integrated product
7 that really can integrate with the Grid and has the
8 communication control, etc., and is, obviously, safe,
9 cost-effective, and reliable. Storage must be
10 integrated with the Grid, not only the integration and
11 infrastructure, but also within the regulatory and
12 market framework. So, some recommendations. We need to
13 figure out how to accelerate and enable a portfolio of
14 solutions in California that are Grid ready, cost-
15 effective, and safe and reliable, and to focus those
16 options on products that really solve industry problems.

17 We need to establish clear targets for those
18 applications, specify clearly what the storage systems
19 have to do, again, test and validate, make sure that
20 they're robust and they can lead to further deployment
21 and procurement. We like to see more standardized
22 products. What we see right now is a lot of one-off
23 systems and I think productization will lead to cost
24 reduction, which plays into the volume question.

25 We also need to understand Grid integration,

1 this is more or less from the load serving entity
2 perspective of how to accommodate distributed storage.
3 I think in the wholesale arena, these are - we're
4 talking about much larger assets that can play out much
5 like an IPP project would play out, but I think there is
6 still some grid integrations relative to how bulk
7 storage deals with the ISOs in monetizing some of the
8 ancillary services benefits and other benefits that are
9 out there.

10 So, this is my last slide. So I'm sort of
11 suggesting both a top down and a bottoms up approach.
12 From the top down, it's good to hear we've got some
13 studies underway in California as part of the long term
14 power procurement plan, but we really need to do a
15 really integrated supply transmission integrated
16 analysis of how storage can support California's RPS
17 needs. And this will help define the role, the
18 location, the optimal mix of the storage, and how
19 storage can be one of those solutions for flexibility.
20 So, those analytics can help establish California's
21 roadmap and lead to the more specific requirements and
22 products. From the bottoms up, and we're working very
23 closely with a lot of the distribution utilities, to
24 start looking at how storage can be used on the grid,
25 how it can be used to support increased penetration of

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 photovoltaics, how it can be used as a one option for
2 CapEx deferral of infrastructure and, again, another
3 toolbox, distribution planning functions within that a
4 utility can use to meet their reliability and service
5 needs.

6 Finally, just a few other recommendations.
7 Perhaps storage can serve as a bundled product. How to
8 look at how fast response storage can provide higher
9 quality megawatts than the tweaking or cycling of
10 thermal fossil plants. You know, in some regions in the
11 country, like in the Midwest, a lot of wind penetration
12 really requires the coal units to really hit their
13 minimum load and maybe even go down to shutdown
14 conditions, which we want to avoid, look at storage as a
15 solution or option in terms of demand side management,
16 peak reduction and, again, deferral of infrastructure.
17 Thank you. I would be happy to take any questions as
18 I'm on the panel. Thank you.

19 CHAIRMAN WEISENMILLER: Thank you. Thank you
20 for your contribution. I have a couple questions. The
21 first question is, you talked about combining wind and
22 storage, and I guess that gets to the basic issue of
23 economies of scale, whether you basically try to do
24 centralized storage to deal with this first wind, or
25 whether you just disperse the wind and storage together.

1 Is that being done, any analysis of that?

2 MR. RASTLER: We have started and I'll talk a
3 little bit about that a little bit later in the second
4 panel, but it really varies. As you saw in the projects
5 in Hawaii, those are sort of very close, it's part of a
6 bundle, it's part of a purchase power agreement. In the
7 U.S., we really haven't seen that happen yet, just
8 because of the different ergonomics on the mainland.
9 The Duke Notrees project, of which EPRI is going to be a
10 part of, will start to look at that a little bit as it
11 dispatches into the ERCOT market. We've been looking at
12 compressed air energy storage as a wholesale asset that
13 can address increased wind penetration and there, as a
14 wholesale asset, it's just out there, but it really
15 depends, again, on location. Can you site these assets
16 where there is transmission congestion and use it as
17 more of a wholesale asset.

18 CHAIRMAN WEISENMILLER: Okay, and earlier we
19 talked about the three uses of storage and one of those
20 dealing with the instance where something trips, or we
21 lose a major unit, or a major transmission line. At
22 this stage, is that anywhere close to economic? You
23 know, basically we would be needing at least, say, 1,000
24 megawatts of storage, and you would have to obviously
25 deal with the 10-minute requirement, and then be able to

1 hold the load until you can re-dispatch something else.

2 MR. RASTLER: Generally, most of the storage
3 options are limited energy duration. You've got
4 obviously pumped hydro and compressed air, which could
5 give you 10 to 20 hours or more, depending on the
6 reservoir capability, but most of the other options are
7 very limited in energy duration, mostly by economics. I
8 mean, you could build more energy duration, but it
9 becomes cost prohibitive, so we see a lot of needs for
10 systems that are in the maybe four to six hour range for
11 grid support, and then it was mentioned, the shorter
12 duration options for the frequency regulation services.

13 CHAIRMAN WEISENMILLER: And is EPRI doing any
14 R&D on sort of dealing with variable speed motors for
15 the pump storage or for their poundage hydro?

16 MR. RASTLER: We're not, we're really not doing
17 too much on pumped hydro at the moment. I should say we
18 are working with DOE on a collaborative study to look at
19 how existing pumped hydro is being dispatched, and I
20 think one scenario is the WECC under the 30 percent RPS
21 to see, you know, what can we learn from existing assets
22 in the market, how are these assets dispatched, and how
23 could they improve the use of the renewables? We're
24 aware of the variable speed drive technology, but we're
25 really not doing too much in that area right now. We

1 think any new plants that get deployed, and there are
2 over 15 or 20 permits out there across the country up
3 for permitting, I think those will definitely consider
4 the variable speed drive technology as part of their go
5 forward.

6 CHAIRMAN WEISENMILLER: How about on relicensing
7 of some of the hydro?

8 MR. RASTLER: We did some work a few years ago
9 on relicensing hydro and I'm referring to the dam safety
10 studies that we did, you know, how do we relicense these
11 old plants? I'm not aware we're doing much in that area
12 right now with pumped hydro, but I can get back to you.
13 I share that responsibility with one of my other
14 colleagues in the Renewables Program.

15 CHAIRMAN WEISENMILLER: I guess my last
16 question, on the compressed air, obviously in California
17 we're now very focused on some of the gas pipeline
18 safety issues, and the question is, is anyone worried
19 about that aspect of the compressed air storage projects
20 and what the cycling might mean to the gas pipelines?

21 MR. RASTLER: The gas pipeline in a compressed
22 air plant would be considered just as a pipeline for a
23 combined cycle plant, so we're not too much worried
24 about that. What we have been thinking about is
25 underground caverns which depleted gas wells and what's

1 the potential for a detonation or something if you have
2 a mix of methane and oxygen in a cavern, and we've been
3 doing research on that to understand the potential
4 issues and how we might need to mitigate that. But it's
5 mostly around the underground cavern, but not the
6 pipeline. I'm not aware of any issues that we should be
7 thinking about there. It's the same as a combined cycle
8 plant or gas turbine feed.

9 CHAIRMAN WEISENMILLER: Good. Thank you.

10 MR. RASTLER: You're welcome.

11 MR. GRAVELY: Anymore questions before we go on
12 with the discussion? Okay, so what I'd like to do is
13 expand on the questions here a little bit for the panel
14 and hear from different members.

15 One question came up earlier today and this was
16 really addressed in here about the ability define the
17 role or how you implement storage, and from the panel
18 I'd like to find out, if we implement storage going
19 forward, or if we approach our policy and regulations as
20 storage being a market service vs. a AB 32 approach, I
21 mean, as an AB 2514 approach as a utility target, which
22 one of those is the right way? Or which one of those
23 would be more effective in getting the storage we need,
24 what that number is, on the Grid in time for the future
25 RPS requirements? So, the question would be, is it

1 better to approach it going forward as a market, or
2 better to approach it going forward as a utility
3 requirement?

4 MR. ROTHLEDER: I think it's probably going to
5 take a combination of both. Just as the existing
6 conventional fleet, the market revenues themselves,
7 daily energy balancing services may not be sufficient
8 for revenue adequacy of the resources and you need other
9 revenue streams to keep those resources viable and in
10 service. And I think storage will probably be something
11 similar where you have to do somewhat of a combination,
12 where the market service is somewhat offset, the revenue
13 stream requirements may not be sufficient.

14 MR. GRAVELY: Amanda, any comments?

15 MS. STEVENSON: Yeah, I agree with the
16 combination use.

17 MR. RASTLER: I would also agree. I think -
18 again, it's application specific. I think, in the
19 wholesale area, something like a compressed air plant
20 would be considered an IPP or it could be owned by a
21 vertically integrated utility as a generation asset, so
22 they're going to have to pencil out the business case
23 and get the appropriate cost recovery. I think the cost
24 recovery question is something that needs to be
25 addressed and considered as part of - you know, if

1 storage is going into support renewable integration,
2 then maybe helping support transmission and cost
3 recovery might need to be considered. It was considered
4 in Texas for a project there in terms of the
5 depreciation considerations. I think in the utility
6 perspective, the regulated utilities want to evaluate
7 these options as just and reasonable, and they also need
8 a regulatory framework and a cost recovery mechanism to
9 consider these as a business asset, as a utility asset.
10 I would also suggest, we would like to encourage
11 multiple business models and I think there could be some
12 opportunities for independent power producers to provide
13 services to regulated entities. Again, cost recovery
14 considerations need to be considered in that.

15 MS. STEVENSON: I think I can further speak to
16 that. In Texas, currently with the Legislature in
17 session, we do have a storage bill that is now passed
18 the Senate and an identical bill and it has passed the
19 House, that we've tried to tackle this problem, but
20 whether or not it should be generation or TDU owned.
21 Currently, as the bill has swam through, we are
22 considering it for right now generation in the sense
23 that it can have all the same generation benefits and
24 interconnection, and on an ad hoc basis the PUC of Texas
25 can decide procurement from TDU, so not having it sit in

1 one house or the other, TDUs can procure, it can be
2 generation, storage is storage, use it for what it's for
3 and don't pigeon-hole it, and I think whether in
4 generation or TDU.

5 MR. GRAVELY: Okay. So what I'd like to do for
6 the next 10 minutes is actually allow some people in the
7 audience here to speak to this particular panel here and
8 we're addressing the need of storage and, later, we'll
9 be talking about the cost of activity and utility
10 application. So, if there is someone in the audience
11 who would like to come forward to the mic, is there a
12 Stacey here, I guess? You can start and then we'll do
13 about 10 minutes of this and then we'll wrap up the
14 morning session.

15 MR. REINECCIUS: Thank you. I wanted to address
16 one of the questions that the Chairman asked in regards
17 to -

18 MR. GRAVELY: Would you identify yourself,
19 please, for purpose of the people online?

20 MR. REINECCIUS: Oh, certainly. My name is
21 Stacey Reineccius, I'm representing Light Sale Energy.
22 We develop and sell isothermal compressed air energy
23 storage systems and we're based in Oakland, California.

24 The question I have or point I wanted to make is
25 to address the Chairman's question in regards to safety

1 and gas safety with compressed air. New technologies,
2 whether from my company, or from other companies such as
3 SustainX which were mentioned in the DOE presentation,
4 which are isothermal, are also referred to as non-fuel
5 compressed air systems, that is that they do not use gas
6 fuel to provide compressed air energy storage and, so,
7 eliminate that issue. Thank you.

8 MR. GRAVELY: Thank you. Other questions?
9 Okay, other questions from here? Anybody online, did
10 you have any questions? Do you want to open it real
11 quick for online to see if anybody has questions? Okay,
12 so I took that as no questions. So, I would recommend,
13 we have a very full afternoon, and maybe we could break
14 early and return early, so I would recommend we leave
15 now and return at 1:15 instead of 1:30 and that would
16 give us a little extra time for the afternoon, and we
17 have quite a few people who want to speak at the public
18 session, and that will give us a little more time for
19 the public session if you're okay with that. Okay,
20 we'll break and reconvene at 1:15. Thanks.

21 (Break at 12:11 p.m.)

22 (Reconvene at 1:22 p.m.)

23 MS. KOROSK: All right, everyone, we're going
24 to go ahead and get started now with the afternoon
25 session. And Mike Gravely is our Moderator for our

1 first panel -

2 MR. GRAVELY: Or afternoon panel.

3 MS. KOROSSEC: Well, yes.

4 MR. GRAVELY: So, good afternoon. So we have
5 now this afternoon for us two panels which we're hoping
6 to cover the information and have some time for
7 discussions like we did before lunch with the panel
8 members, and then there is time in the afternoon for
9 questions. We do have people in the room that want to
10 ask questions. If you haven't already, there is a blue
11 card, give it to either Suzanne or Avtar, and we'll call
12 you up to the mic to give your presentation or speak.
13 We would just ask you to keep it to five minutes or
14 less, just for purposes of all the people who want to
15 speak. And also, we will do our best to talk about next
16 steps and summarize what we've learned today at the end
17 of the session. So, do you have any afternoon comments
18 you'd like to make before we start?

19 CHAIRMAN WEISENMILLER: Well, again, welcome,
20 thank you for your participation. Certainly looking
21 forward to an interesting session this afternoon.

22 MR. GRAVELY: Okay, so two of our speakers are
23 actually online and we'll just go down the agenda and,
24 David, are you online?

25 MR. NEMTZOW: Yes, I am. Can you hear me?

1 MR. GRAVELY: Okay, so we'll do the same thing,
2 we'll have Suzanne flip the charts for you here and,
3 again, go ahead. We're going to talk about topics close
4 to everybody's heart this morning, and that's cost and
5 benefits and revenue, both in a perspective of what are
6 the challenges, give us an idea of where we are today,
7 and I'm sure you'll get some challenging questions from
8 our Commissioners. Go ahead.

9 MR. NEMTZOW: Good. Thank you, Mike. And thank
10 you, Commissioners. Ice Energy very much appreciates
11 that you're holding this workshop today on the IEPR and
12 that you've asked us on behalf of ourselves and the
13 California Energy Storage Alliance to speak today.

14 I do have the problem here after the morning, I
15 heard a lot of great panelists, and the saying goes,
16 "Everything has been said," but not everybody has said
17 it, and so rather than repeat the value proposition for
18 storage, I'd like to just try to integrate that into a
19 couple of key points I'd like to make about how do we
20 quantify and how do we analyze the value streams of
21 storage, so that the utilities and energy end users can
22 make informed rational decisions that will serve
23 California and its ratepayer and the power Grid
24 effectively. So, that's the issues I'd like to tackle.

25 Again, Ice Energy, as you may know, is a - if

1 you can flip to the next slide - we're a distributed
2 thermal storage company. We make - our product is
3 called the Ice Bear if you look at the picture on the
4 top left. The Ice Bear is a water-based thermal storage
5 that connects to regular traditional air-conditioning
6 units, five-ton through 20-ton, and whether they're on
7 the rooftop of a building, or behind on a cement pad at
8 the district mall, it's all the same to us, and we can
9 then run that air-conditioning unit using our real time
10 controller, the cool data controller, which is very
11 sophisticated, Smart Grid enabled resource, to run those
12 air-conditioners at night when power is cheaper, when
13 the Grid is less congested, when peak is much more
14 manageable, and emissions are lower, and store that
15 energy by day to peak shave.

16 The important point there is we are a
17 distributed solution and some of the speakers earlier
18 today talked about the role of distributed storage.
19 That brings two advantages, one is that we are closer to
20 the end user, and as a result we are very efficient,
21 energy efficient, because we are near the end user we
22 avoid the transmission and distribution congestion and
23 losses that centralized resources have, and that's true
24 for all distributed resources, certainly including
25 distributed storage such as ours. And, too, as a

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 thermal solution, that's particularly important; thermal
2 is highly energy efficient, we believe we're the highest
3 energy - sorry, most energy efficient storage resource
4 out there and being distributed near the end user helps.

5 Now, there are some challenges with distributed
6 storage, and that's why the controls are so important so
7 that we can see, if you look at that picture on the
8 bottom, we can aggregate our units and manage them as a
9 single resource. In fact, as we speak, Ice Energy is
10 working with SCPPA, the Southern California Public Power
11 Authority, which represents the municipally owned
12 utilities in Southern California. We are implementing a
13 53 megawatt distributed storage project using our
14 technology, and 53 megawatts isn't a lot by pumped hydro
15 standards, but for distributed storage, it's very
16 sizeable and I want to emphasize the point that I know
17 has been made earlier in other settings. Storage is
18 well beyond research and development, we still, of
19 course - storage and different technologies have
20 different needs, additional research and support from
21 the Energy Commission and the U.S. DOE and others, but
22 many storage technologies from pumped hydro, which has
23 been out there for a century, to technologies such as
24 ours and many others, we heard earlier today from Amanda
25 Stevenson at Xtreme Power that their battery technology

1 and ours are in the field right now as we speak, and
2 we're doing 53 megawatts in Southern California, and
3 we're also engaged in some very serious conversations
4 with Southern California Edison, and Northern
5 California, and PG&E and others, again, for a resource
6 that can be out there today and can be utility scale, as
7 aggregated. So, if you can flip to the next slide,
8 please.

9 So, if I can talk about the benefits and how do
10 we quantify distributed energy storage, and I guess,
11 recently, with the help of R.W. Beck, produced a
12 modeling guide for - it focuses on our technology, but
13 it's applicable to many others that are out there, how
14 should a utility model it, and this doesn't make the
15 policy case for it, it makes the practical modeling
16 arguments. And that's what I'd like to talk about
17 today. So, let me aggregate those three main benefit
18 streams of distributed storage into, 1) improving
19 utility system operations, and that includes energy
20 efficiency, as well as Grid efficiency, certainly
21 assisting power factor and voltage support, and of
22 course improving the load shape; next are avoiding
23 costs, and you pick them, there's a pretty long list of
24 costs that storage can avoid, and of course, storage is
25 not cost-free, but the costs that it can avoid are

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 typically greater than the cost of the storage, and we
2 can defer - storage can defer or avoid generators,
3 especially peakers, can certainly avoid or defer
4 transmission and distribution, and then for electric
5 system losses, particularly at times of congestion, when
6 losses are higher because of the congestion, so at peak
7 times those losses are higher. If I could add,
8 parenthetically, but importantly, one of the most
9 important factors in valuing storage is not looking at
10 averages. In the storage business, especially folks
11 like us who have a peak oriented solution, and we know
12 that California's Grid is plagued by peak problems, and
13 it's a problem that's getting worse and not better with
14 the prevalence of air-conditioning, and our industry,
15 let's just acknowledge it, through no fault of
16 anybody's, our industry operates at lower than a 50
17 percent capacity factor, there are very few, if any
18 industries in America, that operate effectively without
19 inventory and are operating in the 40's for load factor,
20 and that's getting worse over time, not better,
21 primarily due to air-conditioning. And that's something
22 that storage can help ameliorate.

23 So that's part of trying to avoid that cost,
24 which is very hard to quantify, that's an important
25 factor here. And then, finally, the final category is

1 that storage can enhance the capacity of the system and
2 provide ancillary benefits, regulation, help integrate
3 renewables which, of course, is the focus of today's
4 work and others, and help make the Grid smarter and help
5 it deal with outages and other problems. You could move
6 to the next slide, please.

7 Let me just talk briefly about air-conditioning
8 and thermal-based solutions, which are a subset of
9 storage, of course, and that is to say - if I could just
10 say it simply, and in bright red here, and bright green,
11 everything in the utility system works better by night
12 than by day, and I say that for two reasons, one is
13 that, at night it's less congested, and we're away from
14 peak, especially in a place like California, but also at
15 night the ambient temperatures are cooler and things
16 work better. And we all know that power plants don't do
17 as well under high temperatures or elevation, we can't
18 do much about elevation, and same for everything all the
19 way through to the air-conditioning systems. So, if you
20 aggregate those things, if you look at the columns now,
21 not the rows, generation is more efficient at nighttime
22 because of the cooler temperatures and the ability to
23 not go all the way out on the fleet, not have to rely on
24 the highest heat rate, most polluting, least efficient
25 plants, but instead go for the better performing ones,

1 those are available at night. Transmission, again,
2 works better when it's not congested. Distribution,
3 lower losses, and air-conditioning, quite simply, it's
4 easier to cool night time air than day time air, and if
5 you aggregate this altogether, you can see the energy
6 efficiency, the energy performance, and therefore the
7 efficiency, can be 50 percent better using thermal
8 storage such as ours, or any of the other products that
9 are out there, and I know that's near and dear to the
10 charge of the Energy Commission of the State of
11 California. Next slide, please.

12 So, let's look at the cost. I like to make one
13 key point here, and that is this, there are many costs
14 and avoided costs, and therefore benefits that
15 distributed storage can provide, and all storage can
16 provide, and they are not - you've heard it discussed
17 all day, there's not one simple solution here, there's
18 not one simple mathematical calculation. One person,
19 one utility person we work with described them as
20 pancakes. He said, "When we look at storage, we look at
21 the pancakes, a value that storage provides, and we
22 stack up those pancakes." And that, I think, is a good
23 metaphor. And that makes the job a little harder,
24 especially because it's newer to regulators and
25 utilities and others. But that's the key here, is to

1 look at all the value streams, and each system will be a
2 little different, each utility has different needs, and
3 users will vary and the storage technologies will vary.
4 But the concepts are the same. And so, when I go
5 through this list, I don't mean to suggest that any one
6 storage product - not ISIS, not any one provide all of
7 these benefits, all these pancakes of value. But what
8 we need to do as a whole is to go through this list and
9 say, "Where are the values and how big are they?" And
10 some we will not be able to quantify, at least not yet,
11 but that doesn't mean that they're zero, and that does
12 not mean that they should be neglected, so we will do
13 collectively the best we can, and I think the CEC has a
14 key role in that. So, again, some of these I've
15 discussed earlier - avoiding capital facilities, namely
16 generation, T&D that can be deferred or avoided as we
17 flatten the peak, and we can peak shift. And I'm in
18 Southern California and, as we know, anybody who wants
19 to try to build a peaking power plant in the L.A. Basin
20 can try to do so, but it's becoming increasingly
21 difficult, never mind the T&D challenges there. The
22 reduced energy costs, in addition to reducing the energy
23 from not having to rely on inefficient, high heat rate
24 power plants, as well as the T&D losses. We also have
25 one benefit that's very hard to quantify, and that is

1 the ability to avoid volatility. And at daytime, when
2 the system is at peak, there's greater volatility, and
3 greater risk from that in case there's extreme
4 temperature, or some other extreme peak event at
5 nighttime, we can avoid that, and that is a cost
6 reduction. And that may or may not show up in the
7 marketplace. Earlier, we saw a graph from Xtreme Power
8 that showed the emissions benefits in California of
9 nighttime generation vs. daytime generation, and it's
10 quite significant. That slide used SoCal Edison data
11 and San Diego Gas & Electric, and a recent filing at the
12 PUC showed even more Xtreme data in terms of the day and
13 night differential on CO₂ production.

14 MR. GRAVELY: But, Dave, would you wrap it up
15 here a little? We're running over a little bit and we
16 have several more speakers.

17 MR. NEMTZOW: Yep. Going down the list here, I
18 think we've discussed them. Let me do this, let me skip
19 two slides to that one. In this, the point I'd like to
20 make here, and the point that's important, is, again, if
21 you look at these different layers of value, if you look
22 at all the values that storage can provide by shifting
23 consumption, it adds up to very significant numbers.
24 This is not, again, this is not the case in all cases,
25 but this is accurate for Southern California, that the

1 value of storage measured in megawatts, once you avoid
2 the whole congestion on the Grid, can be 78 percent in
3 this case, higher than just looking at the end use. And
4 that's the total benefit. And then, the same is true in
5 T&D - if you can go to the last slide - and just, the
6 most important thing that I would respectfully ask of
7 the Commission is the following, 1) obviously you're
8 tackling the issue with today's workshop of how to think
9 about cost effectiveness and how to develop a
10 methodology and how to encourage utilities to do that,
11 and how to integrate renewables, but the one thing I'd
12 like to say is prices, no matter how important prices
13 are, prices will not be able to capture the value of
14 storage anymore than prices capture the value of any
15 other DSM, I mean, that's why you're in the appliance
16 standard business, because prices are useful, but don't
17 wholly capture the value to society, so utility
18 ownership will be a big part of storage. We think you
19 should encourage that and allow them to be able to make
20 informed decisions that allow them to look at storage as
21 they do other resources, and towards that end, I would
22 just encourage you - I know this is part of what you do
23 already, but just as the value is spread out, the need
24 for the Energy Commission and the Public Utilities
25 Commission, the ISO, the utilities and others to work

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 together on storage is essential because the value is so
2 spread out over so many different areas of
3 responsibility, you need to be able to aggregate those
4 up on the policy level, not just on an analytical level.
5 So, thank you again for the opportunity to talk about
6 distributed storage.

7 MR. GRAVELY: Okay, so hang on in case there are
8 questions at the end for the panel. So we'll now shift
9 to Dave Hawkins from KEMA, who is going to talk to us
10 about some studies he's been involved with.

11 MR. HAWKINS: Thank you very much. I'm going to
12 skip right on to talking about the energy storage
13 technologies. And let me say, first of all, that
14 although a lot of my material shows costs for batteries
15 and is sort of battery-centric, that's really not where
16 we are at; there are a variety of storage technologies,
17 including thermal storage, combined with for
18 concentrated solar plants, there's thermal ice storage,
19 as we just heard, there's pumped storage plants, as I've
20 been reminded by my friends in the audience, and so
21 there's a variety of different technologies that are
22 available for this, and costs and so forth for each of
23 them are unique to their area.

24 One of the things that was asked to comment on
25 is, well, how much does this stuff cost, and everybody

1 says, "Well, it's expensive," right? Well, at the
2 current time, the prices tend to come in somewhere over
3 \$1,000, typically \$1,500 to as high as \$4,000, depending
4 on the particular technologies. The goal has been to
5 try to drive the price down to about \$500 or \$600 a
6 kilowatt, and this has been the focus for a lot of the
7 DOE ARPA-E projects to get to the next generation of
8 technologies, so that you can get some of the costs
9 down. As Mr. Gravely has so kindly reminded me, that
10 it's not just the cost for the bucket of energy, but
11 it's also the system cost and the inverters, and the
12 inverter technology hasn't moved a lot in the last five
13 years, it's gotten more efficient, but it is a
14 significant component of all the overall cost. And
15 also, you have the same thing of site integration and
16 the computer systems to make all this work. The
17 advantages, of course, is the inverters are getting
18 better and, of course, the cost of the battery
19 technologies and so forth, storage technologies, for
20 some of them is coming down, not for all. Again, as my
21 friends with the thermal storage say, okay, I just have
22 to build a bigger bucket, and it doesn't cost a lot to
23 add more salt and sand, but if I'm going to add more
24 lithium ion cells, it does go up sort of linearly with
25 the number of cells. And if you're doing flywheels, the

1 more flywheel modules you add, the cost tends to go up
2 in a kind of linear rate. If you're doing flow based
3 batteries, again, you can make the tank bigger and the
4 cost of the electrolyte doesn't go up as fast. So there
5 were a variety of different technologies, not all of
6 them the cost curves will go up the same way.

7 Lots of different varieties of storage
8 technologies and the studies that we've done with KEMA,
9 with the modeling studies that we've done, shows that
10 the type of variability that you have to deal with on a
11 system Grid level, you tend to have to have a device
12 that is a two-hour or larger type device. And there are
13 those who argue very strongly for the 15-minute device,
14 that's all you need for the frequency regulation, but if
15 you really - and you could go after that small niche
16 that is a niche, and it is an important one, but if you
17 really want to build out a system that's going to
18 provide a two or three or four streams of revenue for
19 you for making the cost of that energy storage device
20 come together, you probably have to have at least a two-
21 hour or longer device. If you're going to play in the
22 ISO markets, yes, they do have the new rim one and it's
23 going to be there, but, again, in order to make - at
24 least when we've run the models, to make it pay off, you
25 need something more than a couple hours worth of

1 storage, and if you want to bid into day ahead markets
2 and you want to do some of these arbitrage things, at
3 least a bucket that is a couple of hours makes a big
4 difference.

5 One of the things we haven't heard very much
6 about here today is the T&D efforts, or the cost of
7 having this as a utility-based device. We'd like to see
8 more discussion, I think, of the value for reliability,
9 voltage control, things that are providing voltage
10 support, reduced flicker, the things that you're going
11 to have with a lot more PV. So, if we have 3,000
12 megawatts of PV coming on as the target behind the
13 customer meter, and 9,000 megawatts in the future spread
14 throughout the distribution system on the utility side
15 of the meter, there's a lot of different things that can
16 be done, and it's very difficult at this point to show
17 the market value of those because they're not market-
18 based, they're basically Grid reliability-based. And so
19 there's new models that need to be created, new tools
20 that develop to come out with an optimization of those,
21 and we still have research to do that uses the
22 synchrophasor PMU-type data to do the burst of energy
23 for Grid stability, and also simulate some of these
24 system inertia that you can get with these new type of
25 techniques. Again, it's going to be a challenge to show

1 the value of those and to monetize that value because
2 they do not have the same as a market-base value. If
3 you look at the market-base value, that's a lot easier,
4 all you have to do is pull down the ISO's Oasis data and
5 you can run all the mathematical models you want,
6 looking at day-ahead markets, five-minute markets,
7 regulation, run their regulation energy management
8 model, and look to see how you find the road to riches
9 using that type of data. The caution, of course, is
10 same as your stockbroker tells you, the historical data
11 is no guarantee of future profits. And, of course, what
12 you really have to do is to take 2010, 2011 data, and
13 say, "Gee, what are the prices going to look like in
14 2020, or 2015, or 2016?" And my guess is as good as
15 your guess, probably, as to what those look like, but
16 that's what's going to be interesting.

17 I thought we'd just show you a few pictures. If
18 you take the recent day, this is April 14th, and look at
19 doing it - looking at I've got a big bucket, I'm going
20 to buy energy at the lowest cost, the lowest cost that
21 day was probably about an average of \$9.00, and I'm
22 going to sell it back at \$40.00, and that's my energy
23 arbitrage going into the day at market with my whatever
24 energy storage device I have, and let's assume a round-
25 trip efficiency, and so I come out making, what, about

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 \$92.00. Let's say I made an average of \$100.00 and I'm
2 going to do that 365 days out of the year, so let's see,
3 I'm going to make \$36,500 that year by doing price
4 shifting back and forth in this particular size/amount
5 of energy storage. It doesn't sound like quite the road
6 to riches yet, but, you know, maybe we're on the road.

7 Next thing, if you look at the thing that's
8 always exciting, is the five-minute real time energy
9 market at the ISO and, again, this is from the - let's
10 see, this was from the April 14th or April 12th, and we
11 had seven price spikes that are \$1,000 or above, and you
12 says, "Wow!" But, if you look at the duration of those,
13 it's basically like one, or two, or three, or five-
14 minute intervals, and if you've got a very fast device,
15 of course, you can hit that number and discharge as fast
16 as you can for maybe 10-15 minutes, but it's probably
17 still going to be difficult to make a whole lot of
18 money, even if you bought the energy to begin with at
19 zero, you probably can't discharge enough to make enough
20 money for very long periods of time.

21 There are other periods, when we look back at
22 July of last year, where we looked at significantly
23 longer number of periods, up to 45-50 minutes sometimes,
24 where the price stayed pretty high up in the \$70-100 to
25 \$200 range, and those particular periods are in the

1 summer, there was some pretty good money to be made.

2 Okay, the next thing, we're going after the
3 ancillary services, so I'm going to bid into the day-
4 ahead market and I'm going to bid to do the regulation,
5 and so, if you probably have looked at the ISO's
6 regulation market, previously, it used to be a long time
7 ago about \$30.00 a megawatt, it went down to \$20.00,
8 then to \$18.00, and then down to about \$11.00, and then
9 down to about \$8.00. Recently, it's been coming up, the
10 ISO is buying a lot more regulation, and the price has
11 been going up, and so here is a day where it was the Reg
12 up, it was \$15.00, and Reg down was \$9.00, except there
13 was some numbers at the end of the day that were really
14 spiked. But let's say I was in the market and let's say
15 the average price was about \$24.00 across that period,
16 times 24 hours, so I could make almost \$600.00 in the
17 regulation market, and let's say I took - or, let's say
18 the average was closer to \$500.00 over that period, so
19 it took \$500.00 times 365 days, every day was like this,
20 I could make about \$20,000; again, it's probably not the
21 road to riches, but at least it's a start.

22 So, I think that, as we looked at AB 2514, the
23 issue is, okay, we've got to look at all of these things
24 and the trick is going to be, if we put some of this
25 storage in the distribution system, how do we also then

1 have both T&D value and also can we bid it back into the
2 market without driving the distribution system planner
3 crazy, because of the volatility we've introduced back
4 into the distribution grid. So, conclusions and trends,
5 let's see, certainly cost challenges going ahead and
6 hopefully the target price for energy storage is coming
7 down, and we're going to have the magic solutions.

8 MR. GRAVELY: Do you want to ask questions now,
9 or do you want to wait until the panel -

10 CHAIRMAN WEISENMILLER: I think let's go to the
11 end of the panel. Hopefully we're not going to keep
12 going back through avoided cost concepts, but certainly
13 if anyone else wants to talk about it, let's try to get
14 through that fast.

15 MR. GRAVELY: Our next speaker is Dan Rastler
16 from EPRI and it's interesting, the charts you'll see
17 now, EPRI has the challenge sometimes of presenting
18 numbers, no matter what number you put on the table,
19 someone is not going to like it, but they do the best
20 job I've seen in the industry so far of trying to come
21 up with comparable prices for multiple technology,
22 multi-applications, and try to do the best they can to
23 be accurate, so they are showing us some numbers here,
24 at least their estimates from their studies of what
25 different technologies cost and what their value is.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 Dan.

2 MR. RASTLER: Thanks, Mike, and thanks again for
3 the invitation to share with you some of our research
4 findings. Yeah, we do take a lot of heat sometimes of
5 trying to objectively portray facts, but we're always
6 open to understanding, getting better data, and this
7 work that I'm sharing with you is based on some
8 benchmarking work that we've been doing the last couple
9 of years, and it's ongoing. Again, reference to this
10 report where a lot of the storage benchmarking cost and
11 value analysis is documented in detail, there is an
12 executive summary that's a short read of about 20 pages
13 or so, and if you want the full read of 150 pages or so,
14 get the full document.

15 I'd also like to acknowledge Eric Cutter who is
16 here, who is at Energy Environmental Economics, who has
17 been working with EPRI closely on this work and
18 continues to work with us as to taking this work to the
19 next level. So, we've been really trying to get our
20 hands around what are the total installed costs of a
21 fully Grid ready energy storage system, and these are
22 some data that are out of the EPRI report that I
23 referenced. And I just should say that these are
24 today's costs, and they're very application specific,
25 and they include what I would call mostly the all in

1 cost of what a utility or an owner would have to bear,
2 particularly with respect to the interconnection and
3 getting it really Grid ready for the Grid.

4 And just a couple of takeaways on this. We are,
5 you know, emphasizing a lot on our work at EPRI on
6 compressed air energy storage, and when you look at the
7 dollar per kilowatt, or the dollar per kilowatt-hour,
8 which is a CapEx number, which is the dollar per
9 kilowatt divided by hours, it's one of the lower numbers
10 we see out there when we look at the bulk supply
11 options. That said, it still does have its challenges
12 in earning revenue in the marketplace. We've also been
13 trying to benchmark some other bulk storage options,
14 even though we have above-ground compressed air, but
15 what could 50 megawatt, five-hour systems look like,
16 both in the near term and in the long term, in terms of
17 some of the emerging technologies? This year, we're
18 going to be looking at a few other options that we
19 didn't get a chance to last year, sodium nickel chloride
20 technology, which is very well near term, and then we're
21 also going to look at zinc chlorine and sodium ion
22 technologies, which are a little bit more the emerging
23 area.

24 Okay, so now turning a little bit to the revenue
25 and cost benefit analysis, and we've been really looking

1 at two different approaches. We've been applying this
2 total cost recovery method, which tries to look at what
3 is the value of storage in a specific application and
4 trying to present value the various value streams, and
5 kind of knit them together to come up with a value that
6 is a proxy for what a total install cost device could
7 be. It's also important to look at these options under
8 a cost per delivered KWH basis, so they're taking into
9 account CapEx, the round trip efficiency, as well as
10 what is the cost to charge this system or, also, if it's
11 a compressed air plant, what's the cost of natural gas.
12 And, of course, you've got to also consider the ONAM
13 [ph.] and life, and how many cycles do I get out of this
14 system over its intended life. So, it's important to
15 look at these projects with these type of metrics. Both
16 are really needed to support the business case.

17 So we started out looking at these applications
18 and trying to understand, well, what are these benefits
19 really worth, and try to really quantify them, and this
20 chart illustrates kind of a range across all the ISOs.
21 We could probably dial this down for you for CAISO. But
22 a couple of interesting things come out of this and, of
23 course, Dave just went through a few of them, as well,
24 in his last talk, but you'll see that - and we have been
25 looking at this from a utility perspective, so things

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that jump out are what is the potential value of
2 deferral of CapEx? So, we've got deferral of
3 transmission investments, deferral of distribution
4 investments, we've been looking at fast regulation,
5 that's another one that stands out pretty significantly
6 as you look at the numbers.

7 So we've been trying to look at how do you then
8 look at an application and stitch these benefits
9 together, and this is an illustration of an example of
10 some work we did in the PJM market looking at a two-
11 megawatt system, and on the left you're seeing a sort of
12 traditional utility perspective and what some of the
13 benefits kind of stack up to, target values are - read
14 that as average U.S. 50 percentile. And you'll see that
15 the costs are challenging. That's about a half a
16 million dollars for a two-megawatt system, so that's
17 about \$250.00 per kilowatt hour. On the high side,
18 that's about a million dollars -- or \$500.00 a kilowatt
19 hour.

20 Now, if you look at trying to stitch site-
21 specific benefits together and bring it into play local
22 capacity, regulation, perhaps deferral if you can get
23 it, the economics can be quite more promising. So,
24 we're encouraging consideration to look at ways in which
25 these benefits can be better monetized and help make the

1 business case.

2 So we looked at these 10 applications and,
3 again, tried to look at the value, again, in terms of
4 dollar per kilowatt hour of usable storage, and tried to
5 map those into the various applications I showed
6 earlier, and we're finding that, at least there are a
7 couple of ones that really stand out, it's not
8 surprising that frequency regulation can really pencil
9 out itself today, probably without a lot of other
10 stitching, but also from the utility perspective, Grid
11 support, and particularly assets that can be moved
12 around to support needs across the Grid in multiple
13 years, and really capture multiple deferral investments,
14 really look pretty interesting.

15 We're moving this work this year together to
16 really try to bring to the industry a tool that will be
17 regulatory solid, to help them look at the business
18 case. Again, we've also been looking at the leveled
19 cost of storage across the various technologies, and
20 again, this is that levelized cost for KWH delivered.
21 And I won't go through the details, but to give you a
22 sense of where we see the ranges are, based on the
23 current cost projections that we see.

24 Here's just a sample of some of the more
25 detailed look across the various ISOs, and this gives

1 you a feeling for what the benefits really are and what
2 the revenue streams are, and here we're looking at price
3 arbitrage and system capacity, and voltage support,
4 which really doesn't show up too much. But then - now,
5 if you can start looking at regulation on top of that,
6 that starts to look interesting, and then 15-minute
7 regulation looks actually a little bit better.

8 So now let me just turn before I close to some
9 other work we're doing to really look at how storage
10 portfolios fit into the market, how they can really
11 support wind integration, and what role storage plays in
12 bringing on more wind. And we've been doing some very
13 detailed granular modeling work with my friends here in
14 the audience, LCG Consulting. We did ERCOT about a year
15 ago, just recently did PGM, and the New York ISO
16 markets, and these were, again, fairly low penetrations
17 of wind when we think about what's planned for the
18 future. But, again, this points to the kind of analysis
19 I think California needs to do to really understand
20 where you get the biggest bang for the buck, how does
21 storage interplay with future transmission and capacity
22 investments. And so we have been testing various
23 portfolios and to try to understand what is the
24 underlying economics, as well as how do these assets
25 support wind integration. And to illustrate one example

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 out of ERCOT - am I running out of time?

2 MR. GRAVELY: Thirty seconds.

3 MR. RASTLER: Thirty seconds, well, I'll let you
4 read the details, but ERCOT is somewhat similar to
5 California, although there is a little bit more coal in
6 the mix. But here you'll see that compressed air does
7 pencil out roughly around 10 percent IRR if we can get
8 around - about \$800 a kilowatt. Some of the other
9 technologies are a little bit more challenging, but an
10 important thing I should mention, too, distributed
11 batteries, if you can locate these at - of course, ERCOT
12 is a nodal market, if you can locate distributed storage
13 at these high LMP zones, you can really get some pretty
14 interesting system benefits. The LAES here is Liquid
15 Air Energy Storage, I didn't have a chance to change the
16 chart.

17 So, just to conclude with some recommendations
18 to do similar types of analysis, look at the criteria
19 for improving the system in terms of system benefit
20 costs, producer and consumer benefits, and those other
21 items. And I'll close with that and look forward to
22 your questions. Thank you.

23 MR. GRAVELY: Okay, the next speaker is Doug
24 Divine from Eagle Crest, so, again, we've covered the
25 topics in general, so we would have a chance to talk

1 about them, so just go ahead and summarize the examples
2 you have, but also point out some of the specific
3 challenges you're having for technologies as you present
4 those, too. Thank you.

5 MR. DIVINE: Yeah, thanks to the Commissioners
6 and the staff for allowing us to talk about energy
7 storage, and I'm going to focus on bulk energy storage
8 today. Real quickly, Eagle Crest, we're developing a
9 1,300 megawatt closed loop energy storage project 60
10 miles east of Palm Springs. We have energy storage
11 capacity in excess of 23,000 megawatt hours, and expect
12 to be fully licensed by the end of this year.

13 I'm going to talk quickly about the costs, the
14 benefits, and revenues associated with, again, focusing
15 on utility scale storage. Cost estimates, I think, for
16 - I'll start with the second bullet here first - energy
17 storage should be built when it is the lowest cost, or a
18 low cost, long term solution. Cost estimates for energy
19 storage that make sense, I think, in the Western United
20 States, somewhere between \$1,500 and \$3,000 per KW for
21 pump storage.

22 Now, the benefits. We've been through these
23 benefits, I'm going to let you read these. I think the
24 key point is from pump storage to alleviate, you know,
25 again, there's with the new technologies on variable

1 speed pumps, they have the ability to run them above
2 where they essentially act as a large flywheel, so they
3 can provide almost all those services that flywheel
4 provides. In addition, with appropriate design, they
5 can provide very fast ramp rates. There is a project in
6 Europe that can ramp at essentially 25 megawatts per
7 second, so extremely fast ramp rates.

8 Now, we've talked about, you know, part of the
9 policy is, what are the revenue sources for utility
10 scale grid storage. So, these are long assets. They
11 have a 50-year life or more for a pump storage asset.
12 Due to the nature of electric markets in California,
13 U.S. financial markets, it's unlikely that the non-
14 utility owner would construct a facility without either
15 a partnership or a off-TAC agreement with either an
16 investor-owned or a municipally-owned utility. So the
17 revenue sources are either the utility ownership, some
18 kind of contract storage agreement, or treatment or some
19 of all the storage project as an advanced transmission
20 asset and some form of cost recovery for at least a
21 portion of it through the TAC.

22 I'm going to give you back some time, but you
23 know, recommendations, again, looking at these, I'm
24 going to start at the bottom and work up, I apologize
25 for that. But I think what we're looking at with AB

1 2514 implementation, you know, in order to provide for
2 variable energy integration and system reliability, we
3 need to set some least regrets targets for utility scale
4 storage that is cost-effective. The PUC needs to
5 recognize that utility scale storage needs contract
6 terms in order to be competitive out there, we need 20
7 to 25-year terms, given the size of these projects,
8 there is economies of scale with pump storage, bigger is
9 better, bigger is less expensive, and then, finally, I
10 think that the Commission should look at some form of
11 storage form of an NPR, so a way to calculate, you know,
12 let's figure out what is that cost bar looking forward,
13 estimating the values of capacity, the values of the
14 arbitrage value of energy, the ancillary services that
15 we'll need in a 2020 plus environment with 33 percent
16 renewables, as well as the greenhouse gas issues, and
17 then other site-specific issues. I think, by creating
18 that landscape, I believe that there are technologies
19 out there, case and pump storage, that are cost
20 competitive today. Thanks, I appreciate the chance to
21 talk to you.

22 MR. GRAVELY: So our next speaker is - Mike, are
23 you online?

24 MR. KINTNER-MEYER: Yes.

25 MR. GRAVELY: Okay, so we'll bring yours up and,

1 again, if you could try to keep it around five minutes,
2 we would appreciate it.

3 MR. KINTNER-MEYER: Yes, this will be short.
4 We're switching gears here and looking at demand side
5 resources to help mitigate some of the intermittency
6 problems. We here at the laboratory have been working
7 on Grid assembly appliances, Smart appliances for quite
8 some time, and with the advent of - or emergence of
9 electric vehicles, we're looking at how can electric
10 vehicles be used as a grid asset, and as a resource to
11 the Grid. Next slide.

12 With certain analysis, with collaboration of the
13 Bonneville Power Administration, to look at stationary
14 energy storage, but used this also to re-couch and
15 reformulate the question of how many vehicles would it
16 take to provide balancing services if the northwest
17 power pool would increase its wind capacity from
18 currently - from the 2008 values of 4.4 to 14.4
19 gigawatts. So, we looked at various technology options
20 and derived first the new additional balancing
21 requirements which you see here on the bottom right
22 picture. If you filter it and you're looking at the
23 faster cycle requirements, which we call intra-hour,
24 with cycle ability of less than the one hour, it would
25 amount to about 1.85 gigawatts of an increment, as well

1 as a decrement, so fairly symmetric. Next slide.

2 So we were asking the question, given these new
3 balancing requirements, how many vehicles would it take?
4 And we're just in the process of finalizing the data,
5 so, because the data are not quite finalized, I haven't
6 presented them here, but I want to give you a flavor
7 there, that the number of vehicles necessary to provide
8 the entire - and that's the entire balancing
9 requirements - and we're looking at some of the
10 technical potential, not whether that's economic, but
11 from a technical potential - it's a function of how
12 large the battery is, as well as the availability of the
13 vehicle to contribute the resources. That means, what
14 is the charging infrastructure? And we differentiate it
15 to two cases there, a case for home charging, and then a
16 case for home and work, which basically means public
17 charging stations and charging stations provided by the
18 employer at parking lots.

19 What I can say is that, if you provide a
20 charging capabilities, which we call a level one and
21 level two charging, level two is 240 volts, usually
22 limiting the current to 30 amps, sometimes 50 amps, so
23 it's a transfer of about seven to 10 kilowatts vs. level
24 one charging at the voltage of 120 volts, limiting by 15
25 amps, which transfers electricity less than two

1 kilowatts, using that split 50-50 of that
2 infrastructure, and if you provide abilities to charge
3 at work, the vehicles necessary to provide the
4 additional balancing is less than today's vehicle stock.
5 So, what this is indicating is that there is a
6 significant potential in the new emerging electric
7 vehicle technology as part of the future portfolio of
8 Grid flexible or flexible Grid asset that can be brought
9 to bear. So how do you actually do it? Next slide,
10 please.

11 So you're seeing here often regulation services
12 associated with vehicle to Grid, which is basically the
13 same concept as a stationary energy storage, you're just
14 utilizing the vehicle and, rather than being mounted on
15 a fixed foundation there, it's on four wheels. But you
16 are charging it if you have over-generation, you're
17 discharging it if you have under-generation. Next
18 slide.

19 So, what we are calling vehicle to Grid or Smart
20 Charging, would basically reduce this modulation that
21 you saw in the vehicle to Grid, to only the charging
22 mode, so it is a modulated charging based on over-
23 frequent over-generation or under-generation. So we
24 call it vehicle to Grid Half because it only provides
25 half of the capacity to the Grid, so it can only go from

1 zero load to full charging or full load, however, if you
2 click one more time, I think there is a much better
3 value proposition, although you only have half of the
4 capacity value in vehicle to Grid, half a smart
5 charging, the costs are much less. There's no
6 interconnection gear necessary to the charging station,
7 or your house, because you never turn your vehicle to a
8 generator, and it also removes all the uncertainties
9 regarding battery life reduction that currently all of
10 the transportation battery manufacturers have. If you
11 were to expose a vehicle battery to Grid cycling, you
12 would void the warranty. So, you could bypass these by
13 just doing Smart Charging, or what we call "Vehicle to
14 Grid Half." Next slide.

15 We implemented this in a test vehicle that you
16 see here, so we are actually doing it and performing
17 this. We're doing this in a particular way where we
18 sense the over-generation and under-generation by
19 measuring the local frequency. So we can even provide
20 frequency or frequency product without requiring
21 communications from the Grid operator to the vehicle,
22 just by measuring the frequency, very similar to a
23 closed loop governor control on a generator. So, this
24 is really tackling the balancing requirements, issues
25 that Mark mentioned earlier this morning. As far as the

1 consistent over-generation is concerned during low load
2 conditions, this will most likely not work. Other
3 incentives have to be brought to bear such as price
4 signals that would be then communicated to the vehicle,
5 to say this is non-opportune time to charge you, reduce
6 your total electricity bill by charging during times
7 when the electricity costs are low, or even negative.

8 So, in summary, I just want to indicate that
9 we're looking at emerging technologies here that will
10 provide potential services to a vexing problem with
11 integrating renewable resources. And I think electric
12 vehicles are such a good target, it will come fully
13 loaded with electronics and the necessary additional
14 control strategy to do what I'm just talking about, is
15 minor in the cost. So it's a matter of how do we
16 monetize the value, how do we present the value to the
17 customer, and that is a challenge that needs to be
18 addressed as we have discussed there with the larger
19 energy storage equipment. So, that's my presentation.

20 MR. GRAVELY: Thank you very much, Michael.
21 Thank you very much. The next presenter is John Bryan
22 from Fleet Energy Company.

23 MR. BRYAN: I appreciate the invite from the
24 Commission. John Bryan from Fleet Energy Company. We
25 are a spin-out of the nation's largest fleet sales

1 dealer, so we sell about a billion and a half vehicles
2 per year to large fleets, FedEx, AT&T, think of them
3 like that. My prior role was at Xcel Energy as a
4 Program Manager for a one megawatt sodium sulfur battery
5 vehicle to Grid component, and then Smart Grid City, as
6 well, so components of Smart Grid City. We are a
7 service provider, energy and large vehicles, so we
8 already sell the vehicles, so we're going to own the
9 batteries in them, retrofit as need be.

10 So, one of the misnomers in the industry is that
11 we use the Prius as a point of reference at the uptake
12 of electric vehicles. The Prius is a great vehicle, but
13 it's a very small car and it's not really good for
14 fleets. If you look at the commercial fleet business,
15 60 percent of every vehicle sold in the United States is
16 actually a commercial vehicle, so most of those are
17 heavy vehicles. Since they're fleets professionally
18 managed, controlled locally, usually a centralized
19 charging location and, on average, they go 32 miles per
20 day, you can see the data and it's in the presentation
21 and online, both, from the Department of Transportation.

22 If you took half those vehicles and made them
23 electric or sold them in the near future, you're going
24 to have a lot of gigawatt hours of energy storage
25 sitting out there, you might as well use them in some

1 form or another, especially if they're already electric
2 vehicles and already communicated to, as the last
3 presenter noted. That's 13 hours of storage for the
4 grid, that's about half the fleet.

5 I don't need to go in too much of this, I'll
6 just at least explain what it is, this is Northern State
7 Power, Minnesota, from when I was at Xcel Energy, we
8 basically took the existing wind and extrapolated it out
9 to what 20-30 percent looks like, and those yellow lines
10 are wind dipping into baseload, blue is coal and red is
11 natural gas. So, if you start having significant
12 problems, and we know we need to have a place to put it.

13 Just, in lieu of time, I won't go into details
14 on this, the gist of it is, time of charging matters to
15 the utility. The coincident peak matters when you do
16 it, you need to be able to control these things, and
17 tailpipe emissions vs. the upstream emissions from the
18 generators matter, as well, depends on the time of day
19 and what is your actually coming out of the plants, the
20 generation plants as you're charging your vehicles.

21 This one, I find this one fascinating, this is a
22 two-second, a 32,000 points of data, two-second signal
23 from PGM for frequency regulation, it moves all over the
24 place. The only reason why I have it up here is to
25 point out is, as you're fluctuating your plants, trying

1 to follow the signal, you should have them operating
2 more efficiently, lower emissions, lower costs, lower
3 operations and maintenance, by having something that is
4 actually built to charge and discharge rapidly, like a
5 battery of some sort.

6 Batteries are already everywhere. This is,
7 again, I'm actually using the Prius, but the work that
8 we did at Xcel Energy in the picture, there's almost
9 five million Priuses out on the road, they've got a
10 kilowatt-hour and a half battery, so there is already
11 7.4 gigawatt hours out there. We might as well use
12 them. Yeah, we can't use these now, but the upcoming
13 technology is that you get more and more of these
14 implemented, electric vehicles implemented in the grid,
15 we should use them. That cost is already in the
16 vehicle, and there's an opportunity to use that as both
17 transportation and as energy.

18 Last slide, but also a couple of issues from
19 actually trying to project finance this, we have project
20 financing. One of the issues that we run into is the
21 lack of a defined contract, independent power producer
22 -- purchase power agreements, standardizing those for
23 energy storage specifically would be a huge boost to the
24 banks to make them more comfortable, as we've already
25 discussed earlier, the venture capital is - this is a

1 big asset, it's too much - it's very difficult to do in
2 venture capital.

3 The other item that I think was important to
4 note is that the transportation and energy industries
5 are in some ways very separate, but as electric vehicles
6 come together, they're going to be - communicating that
7 vehicles could be an asset to the Grid and as a
8 component of the utilities portfolio, makes the
9 communication from actual implementation of project
10 financing easier.

11 The last point that I had to make is that, since
12 60 percent of the vehicles out there are commercial of
13 some format or another, these are your - these are
14 entities, businesses and commercial entities that are
15 used to spending capital to save costs. And they have a
16 fairly short range, so I don't want to incent anything,
17 these vehicles are already coming out there for major
18 fleets, we should be using them. And that's all I had.
19 Thank you.

20 MR. GRAVELY: Thank you very much. Our next
21 presenter is Matt Stucky from Abengoa Solar.

22 MR. STUCKY: Before I start, I have a quick
23 question. Does anybody in the audience have a laser
24 pointer? I left mine at home and thought I could -
25 okay, there you go, perfect. Good afternoon, my name is

1 Matt Stucky. I am a Manager in the Business Development
2 Group with Abengoa Solar, and I appreciate the
3 opportunity to present today. I see my role here today
4 as that of an advocate and representative of the solar
5 industry, and particularly the solar thermal developers
6 such as Abengoa Solar, and would like to explain how the
7 thermal energy storage can be easily integrated into
8 thermal - solar thermal power plants, and how that can
9 change the output of the shape of that power plant.

10 With that, I'm going to move and start with the
11 schematic here, just to kind of show how this technology
12 works. On the right-hand side, we have a steam turbine,
13 and this is just a basic Rankine cycle, and where you
14 put steam into the turbine, condense it after you're
15 making power back into hot water, pump it back, and
16 through a heat exchanger, make steam and keep the cycle
17 going. So, at this point, you have a need for an input
18 of thermal energy. This particular process flow diagram
19 is showing a parabolic trough plant, so, to collect heat
20 energy from sun, you can concentrate it using mirrors
21 and, in this case, if you have trough-shaped mirrors,
22 you can focus the sun's energy on a linear receiver,
23 Running through that receiver, a heat transfer fluid,
24 and the commercially used product is an oil that you can
25 heat up to about 730 degrees, so coming out of the solar

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 field, you have an oil at 730 degrees, you come through
2 the heat exchanger, give up that heat to the steam
3 cycle, and then come back around to the solar field and
4 heat it again.

5 So, ignoring for a minute the storage component
6 shown here, this is a standalone power plant. So, you
7 can incorporate energy storage in the form of thermal
8 energy storage into this system by using molten salt.
9 Imagine that - there's a certain thermal input needed to
10 operate this steam turbine, you can size the solar field
11 to meet that heat input. Now, imagine you over-size the
12 solar field and you now have additional heat that, in
13 addition to running the steam turbine, you can also heat
14 up a secondary fluid and, in this case, you can use
15 molten salt, that's what we're showing here. So, moving
16 this salt from a cold tank, cold in this case being 500
17 and something degrees Fahrenheit, over to a hot tank,
18 you're heating it up to 700 and something degrees, and
19 when you no longer have an incoming solar radiation, you
20 can draw heat from this system to continue to run your
21 turbine.

22 Now, this system is called an indirect thermal
23 energy source system because the actual storage fluid is
24 not the fluid that is being heated directly by the sun,
25 we're indirectly heating it by first heating a heat

1 transfer fluid.

2 Now, I want to also show a second kind of
3 diagram for another kind of plant that has even greater
4 potential for thermal energy storage, and this is a
5 plant with a central receiver that you could mount at
6 the top of a tower and, instead of having rows and rows
7 of parabolic troughs, here you have relatively flat
8 mirrors that would again collect energy that falls on a
9 given area of the earth, focus it onto a central
10 receiver, and the advantage of this system is that you
11 can get rid of - this can be a direct thermal energy
12 system - you can get rid of the intermediate fluid and
13 heat thermal salt or molten salt directly, and the
14 benefit there is that you can get the hot side hotter.
15 And when you're giving up this heat again to the Rankine
16 cycle at the top of the diagram, for a given gallon of
17 molten salt at this elevated temperature, you get much
18 more heat out of it as you pass through this heat
19 exchanger, and so, for the same volume of storage, you
20 actually have much more thermal storage inherent in
21 that. So, I just kind of wanted to show how the
22 technology works, and then this graph demonstrates how
23 you can basically change your output profile of a plant.
24 In red, you have standard output profile for solar
25 thermal plant, it looks a lot like the output for a PV

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 plant; when the sun rises, you produce power, produce a
2 peak capacity through the mid day, and then you drop off
3 in the late afternoon. And when the sun sets, you're
4 not producing at all. If you were to integrate storage,
5 if you were to over-size the system, the collection
6 system, you can add hours of additional energy
7 production capabilities and this is just one example of
8 how you could continue to produce power when the sun
9 goes down. Now, you could also store that heat energy
10 overnight and increase and be producing power before the
11 sun comes up; likewise, you could, really, the
12 possibilities are limitless in terms of when you're
13 collecting energy from the sun, when the sun is up, but
14 you're producing power whenever you're drawing it off of
15 your heat storage.

16 Now, this graph is actually not really based off
17 of any real exact data, but I use it just to illustrate
18 a point and what's possible with thermal energy storage.
19 In the red, just imagine you have, I guess, a bundle of
20 intermittent generation, such as PV and wind, so this is
21 just showing how this could be variable throughout the
22 day. Now, imagine that you have an oversized solar
23 thermal plant, you could ramp, you could manipulate the
24 output in the generator, up and down, to provide
25 basically a mirror image of the output from some

1 variable sources, so that the combination of the two is
2 a straight baseload output profile. Now, it's not
3 exactly this easy, but I use this simply to demonstrate
4 what's possible in integrating thermal storage into
5 these systems.

6 So, this is actually technology that's not
7 really pie in the sky, or a future, not something we
8 have to wait decades to implement, but rather has been
9 implemented over the last many years, starting SEGS I in
10 the 1980's here in California, the Solar Two Plant,
11 which is the second one on the list, which is actually a
12 molten salt storage plant that operated from about '95
13 until '99 in Daggett, California. We have in Spain,
14 there are 50 megawatt plants with molten salt storage
15 that are in operation right now, with multiple hours of
16 storage. Gemasolar is a plant in Spain that is starting
17 up right about now, as we speak, it's a 17-watt central
18 receiver tower that's actually going to have 17 hours of
19 storage, making it effectively a baseload plant. And
20 then there's Solana which is an Abengoa solar project in
21 Arizona, which will be the single largest thermal energy
22 storage project on the planet, once it's built. It's
23 currently under construction.

24 And so, in the interest of time, I won't go into
25 this rather busy detailed slide, but I would like to

1 kind of jump to some policy recommendations and, if we
2 in the solar industry were to present ours asks on how
3 to - or ask policymakers to allow and facilitate the
4 implementation and development in California of these
5 technologies, I think AB 2514 is a great start by
6 setting targets for the procurement of thermal energy
7 storage. One intriguing idea is to introduce time of
8 day rules to the RPS System. By that, rather than
9 accounting over the entire year, whether a utility is
10 procuring a certain percentage of renewable resources,
11 but rather break the day into periods, such that this is
12 required every day, of every hour of the day. And, in
13 addition to that, you could add a storage payment on top
14 of the MPR for solar thermal projects, I mean, that's
15 one way to say it, and another way to say it is for
16 utilities evaluating similar offers from renewable
17 projects, if there is a renewable project that offers
18 storage, in addition to being a renewable resource, that
19 should be preferentially favored, I would say.

20 Since we're being greedy and asking for, you
21 know, the entire wish list would include something like
22 the California version of the loan guarantee program,
23 there's a Federal version right now, the exemption of
24 sales and use tax on energy storage components, I think,
25 would certainly facilitate the implementation of this

1 technology. There is a bill, AB 1376 that is working
2 through the Legislature now, it's a partial sales tax
3 exemption that would apply to storage components, expand
4 and pass AB 1057, which is a manufacturing sales tax
5 exemption, that could be expanded to include thermal
6 storage equipment, and then I think the State of
7 California can help by just lobbying and supporting at
8 the Federal level the extension of the 1603 Program,
9 which is basically grants for energy property in lieu of
10 tax credits. There is also a tax credit that will
11 revert to 10 percent in 2017. We would ask to make
12 permanent the current status of 30 percent for that
13 investment tax credit. And then make solar projects
14 salable for private activity bonds. And all of these,
15 as a whole, not only create a market for thermal energy
16 storage, but also provide the incentives and overall
17 lower the cost of financing. With that, I thank you.

18 MR. GRAVELY: Thank you. Our last speaker for
19 this panel is to give us the ratepayer perspective,
20 David Ashuckian from the Public Utilities Commission.

21 MR. ASHUCKIAN: Thank you very much. David
22 Ashuckian. Although I work for the Public Utilities
23 Commission, I'm the Deputy Director for the Division of
24 Ratepayer Advocates, and we are an independent division
25 within the Commission. We are under statutory mandate

1 to advocate for low cost rates for utility customers,
2 consistent with safe and reliable services. Our
3 Director is actually appointed by the Governor, separate
4 from the Commission. And we have our own separate
5 budget.

6 I was asked to come and provide the ratepayer
7 perspective and I was beginning to think that I was a
8 little bit out of place, but given the last speaker's
9 wish list, I can respond to some of those as my
10 presentation kind of addresses some of those issues. A
11 lot of my slides are redundant from what we've heard
12 today already, the background about the bill and the
13 hearing that Michael talked about at the proceeding at
14 the PUC, so I won't talk about that.

15 We have, you know, as we heard today, there are
16 all different types of storage and many different types
17 of storage have many different applications, and
18 certainly I'll talk about some of those challenges that
19 we will have to deal with because of that. But, again,
20 I won't go into the various technologies here, you heard
21 about pretty much everything, I would think, so far
22 today. you also heard about the many benefits they
23 provide, we certainly agree with those, and certainly
24 the fact that they can displace the need for other
25 things that provide benefits and reduce costs, as well,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 so, again, I won't go into these details. Again, I
2 think you've gotten pretty much all of that already.

3 Again, the Bill, AB 2514, requires that storage
4 be viable and cost-effective, and that's where our input
5 comes in. And certainly our role in advocating for the
6 proper policies as they are developed by the PUC, is a
7 main area for that. We certainly have looked at the
8 Scoping Plan or Scoping Documents. The questions that
9 the PUC is asking of parties in developing those plans,
10 and some of the things that we have identified, is that
11 we want to make sure that we're not creating policies in
12 order to fit the technology in; for example, time-of-use
13 rates and dynamic pricing is one policy that we're
14 integrating and it's been identified that, well, that
15 type of pricing can actually favor the use of energy
16 storage because it will shift people's usage. If that's
17 actually true, we want to make sure that we're not
18 establishing a rate to fit storage in, but we're
19 creating a rate to make the whole system integrated
20 better. So we want to make sure that the technologies
21 fit the application, that we're not making applications
22 to fit the technology, basically.

23 The bottom line on our recommendations, a couple
24 things that we've heard today that I think I would
25 certainly endorse, that is that, you know, right now

1 this is a policy driven activity, not a market driven
2 activity, and that means that, in our minds, you know,
3 we should make sure that we go at this slowly, we make
4 sure that the technology and the policies that we're
5 establishing fit the technology, and that it is cost-
6 effective, that we look at how the costs and the
7 benefits are achieved. I also saw in one of the early -
8 I think it was EPRI's presentation - that we should
9 deploy at the speed of total cost value; I think that's
10 a great line and that goes to our next point, where
11 sometimes when we see that we've established a mandate
12 for a target, we tend to lose sight of the integration
13 value and looking at the cost benefits of the program,
14 and we just focus on achieving that target and that's
15 one of the reasons why our recommendation is to hold
16 back and not set a specific target. Certainly,
17 continuing to look at applications and evaluate them as
18 they are cost-effective and cost benefit.

19 And lastly, we need to always continue to
20 compare the viability and the cost of storage with other
21 options. Again, ratepayers are mandated essentially to
22 pay for demand response, they're paying for energy
23 efficiency, they're paying for smart meters that will
24 facilitate the demand response, and now we're going to
25 end up paying for renewables, they're paying for peaker

1 plants, and dispatchable resources to back up the
2 renewables, and now you're going to ask them to pay for
3 storage to help back up the renewables that could offset
4 the need for peakers. We have to integrate all these
5 programs. Again, we often see that each individual
6 program is trying to achieve its goal, but there's very
7 little consideration of the integration between
8 programs. We're still procuring fossil fuel generation
9 in order to integrate renewables. If, in fact, energy
10 storage comes online, we need to think about, okay, we
11 can get by with less fossil fuel generation, but the
12 folks who are in the business of procuring and building
13 fossil fuel generation see this as, "Hey, we need..." you
14 know, they make an argument for fossil fuel generation
15 integrates the renewables. So, again, it's up to the
16 policies to make sure that we're balancing all these
17 competing and what I would call duplicative efforts that
18 ultimately will only result in lower costs if we
19 actually adjust various programs to accommodate the
20 interlap and overlap between the various activities.
21 And, again, one of our major jobs is evaluating requests
22 that the utilities present to the Commission for
23 revenue. Basically, they come to the Commission and say,
24 "Do we want to ask for X millions of dollars to do a
25 project?" It's our job to evaluate that request to see

1 if it's cost-effective, if it's cost beneficial, how it
2 integrates, and so we need to develop tools to accurate
3 metrics to develop how various applications of different
4 types of storage will be measured in this cost-
5 effectiveness; because energy storage has such a diverse
6 level of applications, it's going to be difficult to
7 figure out what does this actually result in the bottom
8 line to the cost to the ratepayers, and what other
9 programs will be back out or ramped down because we're
10 now doing this. And that's, again, my main message.
11 Thank you very much.

12 CHAIRMAN WEISENMILLER: Again, I would certainly
13 like to thank Dave for coming and representing the PUC
14 in this proceeding. We appreciate our fellow agency's
15 involvement as part of the dialogue.

16 MR. GRAVELY: So, I think there's a chance for
17 questions first and we'll see if others - go ahead.

18 CHAIRMAN WEISENMILLER: Yeah, I think actually I
19 was just going to start off with an observation. We've
20 had testimony from several groups today about the value
21 of storage and I think people have to look at history a
22 little bit, you know, in the context of PURPA, we really
23 got into avoided cost, and the issue of what would the
24 cost be but for the generator. And eventually there was
25 at least a decade-long, if not much longer proceedings

1 at the PUC, really getting into the nuts and bolts of
2 what's the value of power and a lot of the discussion
3 today used some of the say concepts. Certainly, none of
4 the people making those discussions had ever been expert
5 witnesses in those proceedings, at least not from my
6 recollection. But it turned out to be very very
7 controversial because, what's going on? The other
8 interesting test, and I guess the end result of all
9 that, was in 1890, the notion was to get away from the
10 regulatory proceedings, try to go to liquid market
11 indexes, and the prices, and use that as the basis for
12 avoided cost, as opposed to computer model awards. And
13 I think, similarly, if you look at the other use of that
14 skill, was in project financing, due diligence for
15 projects and, again, there was sort of a limited number
16 of companies that were bankable in terms of the
17 evaluations for that. I had one of them. But in that
18 context, certainly in the merchant power era, people
19 looked at the value of power and I remember that era - I
20 first got the impression it was crumbling when we
21 discovered one of the companies for a Texas power
22 project had revised its projections and sort of
23 concluded the project met all the covenant ratios; three
24 months before it became operational, within three
25 months, it was bankrupt. So, in terms of looking at why

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 did the models do so poorly, you know, part of it was
2 all these models assume sort of a perfect system,
3 perfect system - sort of a prefect CAISO for the whole
4 west, well, in fact, there's lots of bilateral
5 contracts, there's lots of permits, there's lots of, you
6 know, most of the west is not in that framework, so
7 there are lots of reasons why the real world is not even
8 close to these models, and that's one of the reasons why
9 the simulations just turned out to be not bankable.
10 And, again, coming out of that, the project finance
11 community was looking more for liquid prices evolving,
12 that if you had liquid markets and price strips, you
13 might be comfortable financing something, but they
14 weren't going to be comfortable with anyone's
15 projections, really, going forward. And maybe they'd
16 forgot, but, I mean, a lot of money was lost in that
17 era. So, in terms of looking at storage, which is much
18 much harder than the merchant plants were, because in a
19 way, for storage, you're looking at what's on the
20 margin, both in the low load periods and in the high
21 load periods, and trying to compare those two - the
22 marginal fractions and the value of power in those
23 various points. And if you look at most of the
24 production cost models, they do a very bad job
25 estimating how storage is going to operate for pump

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 storage. So, again, analytically, we're really trying
2 to push the envelope here and I think we should all be
3 pretty cautious about the results with, again, if there
4 is a way we can actually get to liquid - very liquid
5 prices in California, you can actually see what the
6 value of power is off peak and on peak, you could get a
7 much better sense of what storage makes sense than to
8 try to get into the computer modeling games again. So,
9 I mean, that's one of the uptakes I would have. So, the
10 Energy Commission could spend years trying to come up
11 with projections that people believe on the value of
12 storage, but it's very difficult and I'm not sure we'd
13 be very comfortable with the estimates. So I think,
14 again, going forward and trying to figure out what is
15 the right amount of storage, it's going to take a lot of
16 creativity to get something credible on that area, and
17 some of the parts of it that are interesting to look at,
18 I thought the Abengoa thing was interesting. One of the
19 questions is, on the procurement process now, there's
20 been a real shift from solar thermal over to PV, but if
21 you look at the characteristics, obviously, for PV,
22 you've got much more volatility on the output than you
23 would on solar thermal, even without storage. So,
24 again, at some point we have to struggle on how do we
25 get those types of characteristics reflected in the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 procurement process, so that, again, ratepayers are
2 getting the best values and we're giving the best
3 pricing signals going forward.

4 So, again, certain, you've certainly given us a
5 lot of thought, but I think some of the issues being
6 teed up are going to be very complicated, trying to
7 figure out what is the value and what are the right
8 amounts.

9 MR. GRAVELY: Okay, given the time, I think
10 we'll go ahead and go to the last panel and hold the
11 questions until the public session. Most of the
12 speakers will be here for questions. Thank you all very
13 much for your time, I appreciate it.

14 So if we could have the third panel come
15 forward, we'll go through and hear the utility
16 perspective, both from the public utility and the
17 industrial-owned utilities, as well as the Public
18 Utilities Commission, again, from the perspective of the
19 utility being the ultimate customer for storage when the
20 purpose of the storage is to support utility Grid
21 integration. The first speaker is Mark from Southern
22 California Edison and he'll give us the Edison view on
23 storage.

24 MR. IRWIN: Great, thanks for that and I
25 appreciate you inviting Edison to talk today. It's been

1 really interesting to hear different people's viewpoints
2 and I'll try to quickly go through some of the things
3 that we're repeating and also try to attribute some of
4 the phrases like "storage at the speed of value" to the
5 U.C. San Diego and U.C.L.A. and Cal teams that coined
6 such a fantastic phrase.

7 So, that really leads me to the first slide that
8 we talked about and, so, people have talked to you about
9 applications, they've talked about operational needs,
10 and storage at the speed of value really comes back to
11 that, is you need an application to create a value. And
12 so Edison's approach to storage has been to look at it
13 on an application basis, to look at those applications
14 throughout the system from clear down on the
15 distribution system very close to the home, all the way
16 into grid-based storage. We identified 12 applications
17 and evaluated them all, some of them more promising than
18 others, but did not find any to implement today. But we
19 found things that we looked at actually initially how
20 does it look today, and then we looked at what do you
21 have to believe for it to be economic. And we saw,
22 actually, a lot of promising things. And I'll talk
23 later about the public information we've provided
24 recently on that and some of the other things we've
25 done. So we start out, you know, storage at the speed

1 of value -- thanks, Byron -- application-based storage.
2 So the next question is, you know, how is energy storage
3 from the utilities perspective different than from the
4 market perspective? And who should own storage? And
5 those two things really kind of go hand in hand. So,
6 when somebody asks me, should the utilities own storage,
7 my answer is not always as helpful as people like,
8 "Well, it depends. What's the application we're doing?"
9 So, if we're doing something on our distribution system
10 that's integral to the reliability of our distribution
11 system, we're deferring a distribution system asset
12 build, it seems pretty straightforward that the utility
13 needs to own that to be able to provide a reliable
14 service. So, when it's a reliability-based type of
15 application, it seems to make a lot of sense that the
16 utility would own it. If we move to the other end of
17 the spectrum where we get to a grid only based
18 application, also similar to the way we've looked at
19 power generation for a long time, grid only application
20 would make sense to have either an independent party own
21 it, or the utility own it, we've seen that application
22 different across. But the challenge that that latter
23 structure of market only has, that I think a lot of
24 people have actually identified today, and a couple of
25 other folks have talked about, is that's a challenging

1 bar to reach.

2 One of the things we see in these 12 different
3 applications is there will be some opportunities where
4 what we call, and other people have called - I heard
5 "stacking pancakes," I heard "multiple cases," we call
6 it "stacking use cases," so we think those are actually
7 going to be some of the more promising opportunities for
8 implementation. And then, again, when we're back
9 stacking into use cases, some of those are integral to
10 reliability, that kind of feeds back into, well, who
11 needs doughnut and who doesn't need doughnut, and so,
12 again, when we're reliability-based issues, again, we
13 have a view about the utility really being the right
14 person.

15 So the other thing that I like, I like it when
16 other people think the same as we do, so Byron, I have
17 some more things for you guys that I'm happy with. R&D.
18 You know, one of the things that, for a utility to
19 integrate assets into its system, you guys have heard
20 today lots of people saying these things are proven
21 today, you've heard DOE talk about all the different
22 ARRA funded projects that are out there. Okay, a
23 utility isn't interested in deploying assets into its
24 Grid for reliability purposes that it's never tested on
25 its system before, that it's never integrated into its

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 system. So, this slide we have here talks about the
2 things Southern California Edison is doing today to make
3 that happen. Somebody said they had the biggest battery
4 project in the Duke project down there, and it's a 36
5 megawatt project, but it's a 24 megawatt-hour battery;
6 we should have made a bigger inverter so we could have
7 said, "Our 32 megawatt-hour battery has more capability,
8 but we didn't size it for that super fast response,
9 large volume, we sized it for a longer duration
10 charge/discharge." So, we're building that battery in
11 the Tehachapi system. It's at a location that has both
12 Grid and reliability opportunities, that's why we
13 selected that area, it's an area on the 66th KV system up
14 there that historically has had some level of wind
15 curtailments, particularly in some particular n-1
16 conditions, so we have 12 specific uses we're going to
17 demonstrate, we're going to demonstrate them each
18 individually, and then we're going to stack them and run
19 them together. We haven't yet worked all the way
20 through the prioritization of which usages will come
21 first. My sense, based on the organization I work for is
22 the reliability will always be number 1, which quite
23 frankly for this location makes sense, and then we'll
24 see how much of the value can we get from the other
25 uses. We won't get 100 percent because reliability will

1 always come first.

2 So this project we're implementing, we expect to
3 be in construction and on line in late 2012, and to have
4 a two-year demonstration period. So we're really
5 excited about being able to bring more data to this.
6 The other things we're doing, which are kind of
7 interesting, we don't kind of stop at the batteries,
8 again, we talked about 12 applications. In our Irvine
9 Smart Grid project, we have you could say four different
10 battery implementations, I'll start with the easiest one
11 which is Battery in the Home, and we're going to have a
12 home-based battery, we're doing a lot of other things in
13 the homes, we're putting PV on the roof, we're doing
14 energy efficiency things, depending on different levels
15 we're demonstrating, we've got eight different major
16 demonstration pieces of our Irvine project, but one of
17 them is a home battery in two groups of homes and we're
18 going to give the homeowner the opportunity to decide
19 what they do with that battery at times and we're going
20 to take the opportunity also during times to decide how
21 we charge and discharge that battery with their solar
22 facility that they're installing.

23 And this looks a lot like the car implementation
24 people talked about earlier, you know, Home Battery has
25 a lot of the same constituencies, it's a small battery

1 out on the system that we're trying to access. The
2 other thing we're doing, and I think there was in the
3 DOE project description Community Energy Storage that
4 AEP has a project, ours is embedded within our bigger
5 project, we're doing it on one distribution transformer
6 for a group of six to eight homes, that's one of our
7 community energy storage applications. The other one is
8 we're building a solar car shade so it'll be a car shade
9 on the top of a parking garage, with PV on the top, a
10 battery charging facility, 20 stalls for cars to come in
11 and charge when they want to try to understand people's
12 behavior when they don't have a cost associated with
13 charging, and how much will it get used, can we minimize
14 the impact on the Grid of that.

15 Then, finally, we're putting a larger
16 transportable battery onto our system. When you think
17 about transportable, I always think about mobile homes,
18 they're not really transportable, but they are. This is
19 a container-sized facility, you know, we can move it,
20 get it on a truck, take it off with a crane, so it
21 works, it works a little better than a mobile home does.
22 But we're doing two things, actually, with that battery,
23 a couple of different interesting applications, some of
24 them have been discussed today, one is to look at, you
25 know, when we talked about demand response being a

1 potential opportunity to displace the need for us much
2 storage, we are going to use the battery to send signals
3 to the Grid. People also talked about PMUs and
4 communication, things off of the advanced meters, we're
5 trying to see how large the signal has to be for our
6 grid substation to understand that that's happened, so
7 we're trying to figure out what's the - is it a
8 megawatt? Is it 40 kilowatts? Is it 50 kilowatts? So
9 we've got a two megawatt battery, half megawatt-hour, or
10 500 kilowatt-hour, that we can charge and discharge two
11 megawatts at a time, so we can swing a load of four
12 megawatts to see what signal gets all the way through,
13 so we're both testing the battery on the system, but
14 we're also testing the DR and what communication we can
15 get with the system.

16 The final application that that same battery
17 does, potentially, is to unload a feeder that's getting
18 really hot during the summer, so if we have a particular
19 feeder, again, if you think about people putting a bunch
20 of electric vehicles out on our system, on to feeders
21 that were designed for the number of houses, not the
22 houses plus a car in half of them, one of the ways we
23 may end up deferring capital investment might be to put
24 a battery out there to be able to get overheating off of
25 our system and overloading off of our system. So,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 again, we're talking about all these use applications.
2 We're out demonstrating it. This project will be on
3 line in 2013 in a two-year demonstration.

4 Okay, so what are the key issues about storage
5 going forward? I think, you know, the big issue for us,
6 as I started out, is about let's look at the
7 applications, let's look at what we need, let's support
8 the ISO in their evaluation of what the system needs,
9 let's figure out what the asset is we need. We'll
10 figure out on the distribution system, on the
11 transmission system, once we've proven the capabilities
12 of these assets, we'll figure the value that we can get
13 down there, and let's try to plug them together, figure
14 out what is the most efficient way to do it, it might be
15 storage, it might be demand response, it might be --
16 more likely, it's some of both, but that's what we're
17 hopeful is people will have a good conversation going
18 through this, take advantage of the R&D work that's
19 going on, and take advantage of the ISO study work. So,
20 that's it. Oh, sorry, one last thing, we've done a
21 little bit of work on this, we published a White Paper a
22 little while ago, it's on our website, we did that work
23 last year, and then we got a Storage 101, a little bit
24 easier, an eight-page pamphlet that we've got available.
25 Our website location for the White Paper is referenced

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 here.

2 CHAIRMAN WEISENMILLER: Thanks. Why don't you
3 submit those for the docket, too?

4 MR. GRAVELY: Thank you very much. Can we hear
5 from PG&E, Antonio?

6 MR. ALVAREZ: First of all, thanks for inviting
7 me to participate in this discussion about the utilities
8 view of energy storage. I'm Antonio Alvarez and I'm
9 responsible for the Renewable Integration at PG&E. What
10 that means is, over the last year or two, I've been very
11 involved in the integration studies that the ISO has
12 been doing to make 33 percent RPS feasible. How we
13 approach storage, we approach it just like pretty much
14 any other resource need, and we first try to identify
15 what is the need, what is the problem we're trying to
16 solve. And then, reflecting on the current integration
17 study, we try to identify the need in terms of the
18 amounts, the type, the operating characteristics
19 required for the resources or supply or demand side
20 resources that are capable of providing those
21 requirements, and then see how much of those
22 requirements can be provided by the existing system.
23 You know, there may be modifications that can be made to
24 the existing system to make it more flexible.

25 We know that, as we add wind and solar

1 generation, we're going to require the system to be more
2 flexible than it is today. Well, some of that
3 flexibility can come from the existing system, some can
4 come from storage, additional demand response, and other
5 flexible resources. So, once we have identified that
6 need, the residential need, then we select the best mix
7 of resources that can be used to meet that need and we
8 do that generally through a competitive solicitation,
9 where it is basically technology and we look at both
10 demand and supply and try to figure out which is the one
11 that gives customers the best value.

12 Just going down to the recommendations on the
13 three or four questions that were asked from this panel,
14 1) in terms of the role of storage, again, I suggest a
15 road map that starts with the identification or need,
16 and then a competitive process to select the resources
17 that are needed, that are needed to satisfy those needs.
18 In terms of ownership, you know, the real answer is it
19 depends on how integrated storage is with the existing
20 system. I can see, reflecting back on the first
21 question that Commissioner Weisenmiller asked about, you
22 know, whether we're looking at economies of scale as
23 kind of the determination for whether the utilities
24 should own, I can think perhaps of a couple of examples,
25 1) the Grid reliability example that was mentioned by

1 Southern California Edison is perhaps one that should be
2 owned by the utility; the other one that I can think of
3 is a pump storage application where the resource is part
4 of the same system where the utility operates, you know,
5 different power plants under a common FERC license, that
6 seems to me like an application where the utility
7 ownership would be applicable, or appropriate. Others
8 in the bulk system, again, it depends on whether the
9 utility or third parties could offer a better value to
10 the consumer. And that usually is determined through
11 our competitive process.

12 In terms of AB 2514, we are not in favor of set-
13 asides. To us, what that means is that you have kind of
14 an optimal solution, it requires kind of a special
15 treatment of a resource in order to be selected, so we'd
16 rather have a processing which the alternatives can be
17 compared on equal footing, and then we select the one
18 that best meets the need and provides the best value to
19 the customer. That's pretty much all I have. Thank
20 you.

21 MR. GRAVELY: Mike Turner, here from San Diego.

22 MR. TURNER: Good afternoon. My name is Mike
23 Turner, I work for San Diego Gas & Electric Company.
24 Thank you for allowing me to come up here today and
25 share SDG&E's perspective on energy storage. Energy

1 storage is not a single application or technology, it
2 can be installed in various locations with multiple
3 applications. Behind the meter, it can be used to
4 manage customer loads, also be used to manage on-site
5 generation and cost at specific locations. On the
6 distribution system, it can be used to manage
7 reliability. In the future state, it can be used to
8 island or have customers stay in service in a micro-grid
9 mode, even with upstream outages. On the transmission
10 system, we can manage power flows and shift power from
11 on-peak to off-peak, also maintaining power quality,
12 mitigating intermittent renewable energy sources. On
13 the generation system, we can provide energy arbitrage
14 and also ancillary services.

15 Some of these applications may be better suited
16 for market or commercial benefits, and some of them are
17 better suited for operational benefits. The ownership
18 of the energy storage devices for these different
19 applications should depend on various factors,
20 especially, we think, operational benefit, safety and
21 reliability certainly being most important. Therefore,
22 we think the utilities are certainly candidates for
23 ownership at all these levels. We think that because
24 the utilities are responsible for operating the
25 distribution grid presently. Customers expect the

1 distribution to be operated safely, efficiently,
2 reliably, and with power quality. The utilities are
3 currently responsible for operating the distribution
4 system to comply with all of these parameters.

5 On the distribution system, we will install
6 energy storage to address increasing penetration of PV
7 and other distributed generation systems. We use energy
8 storage to provide voltage regulation and frequency
9 regulation, also to mitigate power intermittency and
10 voltage flicker, and also defer capital upgrades. We're
11 also looking at installing energy storage at the
12 substation level in order to mitigate intermittency
13 associated with larger, centrally located, renewable
14 energy generators, and also to provide voltage and
15 frequency regulation benefits.

16 Here's a real live example of some of the
17 problems caused by intermittency associated with a large
18 PV system near the end of a distribution feeder. The
19 upper graph is a profile of the voltage, as well as
20 current output of a large one megawatt PV system at the
21 end of one of our distribution feeders, a 12 KV feeder
22 down in San Diego. That shows the output basically for
23 about one day of the output of that PV system.

24 The bottom graph shows a magnified view of about
25 five minutes of that output, and you can see how,

1 interesting, in that five-minute period, there's a lot
2 of variability. And, of course, that variability is
3 caused by clouds coming in and out of the region. And
4 just in that five-minute period on the bottom graph
5 there, you can see the clouds have come in and out about
6 three times, and the point of this slide is to show that
7 energy storage is needed in order to solve real
8 operational problems, therefore, we need to install the
9 storage in the right locations in order to effectively
10 mitigate problems like this.

11 Currently, SDG&E is pursuing a number of energy
12 storage projects in order to gain experience and begin
13 to understand and address the benefits and the
14 challenges associated with energy storage.

15 One large demonstration project we're currently
16 installing is a micro-grid project. Our micro-grid
17 project will employ a number of Smart Grid technologies
18 such as feeder automation, bar management, advanced
19 meter infrastructure, a local distribution management
20 system, and also energy storage at three levels. We'll
21 install it at the substation level, at the utility scale
22 size, that will be about .5 megawatts to one megawatt,
23 and we're looking at four to six hours of duration for
24 that utility scale application. We're also looking at a
25 distribution feeder application where it will be

1 installed and interconnected to the secondary side of a
2 line transformer, the size of that unit would be 25-50
3 kilowatts with about a two-hour duration. And the third
4 application of energy storage in this project would be
5 at residential units, home energy systems, and they
6 would be sized about one to three kilowatts with perhaps
7 a three-hour duration.

8 Our recommendations are to continue to install
9 energy storage projects in order to continue to gain
10 experience with these devices, and also experience with
11 the required support equipment. We need to develop
12 standard practices and working methods in order to be
13 able to install and operate these energy systems safely.
14 We need to work with manufacturers and integrators to
15 develop product value. Importantly, we need to
16 understand the need and the drivers for different
17 applications of storage.

18 We do not think that targets are appropriate
19 right now for energy storage because the impact of
20 renewable energy sources are not yet defined. We don't
21 know exactly how much energy storage we're going to need
22 for specific amounts of renewable energy sources in
23 various locations. Also, wide-scale deployment of
24 storage technologies will be difficult because large
25 scale production capabilities are still developing at

1 this time. And also, as a result of that, energy
2 storage systems are currently expensive. Therefore, we
3 think that energy storage systems should continue to be
4 assessed on a case-by-case basis. Thank you.

5 MR. GRAVELY: So we'll now shift to hearing from
6 the Public Utilities perspective, and the first one will
7 be Mark Rawson from SMUD.

8 MR. RAWSON: My name is Mark Rawson. I'm the
9 Project Manager for Storage Research and Development at
10 SMUD here in Sacramento. I'm going to give back some of
11 your time because I don't want to be repeating a lot of
12 what you've heard from some of my utility colleagues in
13 some of the earlier discussion, because I agree with
14 most of what they said about ownership issues and value
15 of storage, etc.

16 You've already seen some of this information
17 presented about what some of the drivers are, these are
18 the drivers for SMUD, our sustainable energy goal to
19 reduce our greenhouse gas emissions by 90 percent by
20 2050 is driving us to look at more renewables, which
21 means more intermittent renewables, in our case. And
22 with intermittency, we're looking to see if storage
23 might be a mitigation strategy for us to do much higher
24 penetrations of solar within our service territory.

25 So, you'll see here some consistency with the

1 requirements in 2514 for the types of things that
2 storage are supposed to try to address. This is just
3 some data from SMUD's situation with respect to
4 intermittency of our wind resources and some of our
5 solar projects, showing that storage may be an
6 opportunity for us to help deal with intermittency of
7 these types of renewables onto our system.

8 So, what is SMUD's storage approach, presently?

9 I like to describe it as a three-legged stool. The
10 first leg is technology screening and evaluation. We do
11 both internal assessments of storage technologies to
12 understand, you know, are they ready yet for utility or
13 customer deployment. We do participate quite actively
14 in EPRI's storage program as another resource for us to
15 understand what's happening with emerging storage
16 technologies, and some of the work that has been
17 presented earlier today is stuff that we benefit from in
18 the technology assessment area.

19 The third leg of our program is demonstrating of
20 the more promising technologies. I won't go through all
21 the different demonstration projects that SMUD has
22 underway, I've provided them in this slide deck in the
23 back, but it's very comparable to the projects that have
24 been presented by SCE and PG&E, and San Diego Gas &
25 Electric. Deployments behind the meter with customer

1 facilities that own photovoltaics, so looking at trying
2 to firm that intermittent resource right at the
3 customer's facility, all the way up through the
4 distribution system. We even have activities at SMUD
5 all the way up to the bulk level. I would say the third
6 leg of our program is more focused on the value piece of
7 storage and I'll spend just a couple seconds talking
8 about this. Because there has been some discussion
9 today about the many different applications and benefits
10 that can be derived from storage, some of those benefits
11 are better aligned for the utilities, some for the
12 customer, and in some cases they can apply for both the
13 customer and the utility. and the question that we need
14 to try to understand is how to quantify those benefits
15 under different storage deployment scenarios because
16 they're not all mutually exclusive from one another.

17 So some of the work we did last year in our
18 relationship with EPRI, basically used the approach that
19 Dan Rastler presented this morning, but we drilled that
20 down to four specific applications in SMUD's service
21 territory, looking at our voided cost structures. I
22 won't go through the details on this chart, other than
23 to point out that, in our particular situation, we seem
24 to be gravitating toward storage technologies needing to
25 get to about \$400 per kilowatt hour price point before

1 we'll start to see storage applications being cost-
2 effective, at least for these four applications that we
3 investigated. One of our projects that we're doing this
4 year is a zinc-bromine flow battery system, it's very
5 close to that point, but I would say that that is still
6 an emerging technology and, in the whole spectrum of
7 distributed storage research that we're doing, we
8 believe that many of these technologies remain unproven
9 in terms of what is the life of the technology, how
10 durable is it, and how reliable will it be, and what is
11 its ultimate cost going to be. And so, therefore, we
12 advocate that there needs to continue to be research and
13 development, and I think the Energy Commission's PIER
14 Program, as well as the Department of Energy, for
15 funding a lot of the demonstration projects that SMUD is
16 involved in today, that are helping our utility and our
17 customers understand not only the technologies, but all
18 the issues around how do we integrate these technologies
19 into our system, how do we see them, how do we operate
20 them, and can we rely on them as an asset for the
21 future?

22 I'll just close with a few recommendations.
23 I'll focus on the bottom part of it, as it relates to
24 the panel questions that you posted to us. I think, at
25 this point, there are so many emerging storage

1 technologies that we're seeing. In the last few years,
2 it's amazing how rapid storage technology has been
3 developing and I think this workshop today is an
4 illustration of, now, the policies trying to catch up
5 with the emergence of storage technology. But at the
6 same time, I think there needs to be a pause to take a
7 breath. The business models around storage technologies
8 and the companies that are trying to develop these
9 technologies also need time to develop. So, in that
10 vein, I think there needs to be flexibility that we need
11 to allow multiple ownership structures, whether it's
12 utility-owned assets from a reliability standpoint, I
13 agree with Edison's presentation on that point; whether
14 it's customers trying to implement storage as a demand
15 response strategy to deal with TMU pricing, what have
16 you, we need to allow for business models that make that
17 happen, as well. There needs to be flexibility to allow
18 utilities to pick the right type of storage for whatever
19 their need is, whether it's bulk renewables integration
20 requiring bulk storage, all the way down to customer-
21 sided storage to meet customer needs, or varied
22 distributed renewables. We need to let the need dictate
23 how we deploy storage and how utilities will own it.

24 The last point I'll make is I think we need to
25 continue to focus on cost-effectiveness, of the benefits

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 delivered. We shouldn't be pursuing storage for storage
2 sake, we should be pursuing it for the value that it
3 provides, and that drives us to need to look at the
4 applications that it could be used for, identify what
5 the value of the application is, look for the storage
6 technologies that meet the functional requirements of
7 the application, and go from there. And with that, I'll
8 quit.

9 MR. GRAVELY: So while you're doing that, we'll
10 bring up from Los Angeles Department of Water and Power,
11 Mohammed Beshir.

12 MR. BESHIR: Good afternoon. Again, thank you
13 for giving me the opportunity to come and discuss the
14 storage issue from LADWP's perspective, I just have a
15 little presentation. Again, I guess all morning and
16 part of the afternoon, many things have been said about
17 storage, I think I do agree, this is emerging technology
18 and, of course, at the end of the day, this could really
19 be a game changer for the industry, definitely. But I
20 believe there is some ways to go.

21 We were given three or four questions, I guess,
22 that's really what I'm going to limit my discussion,
23 even though there is more to be said, I'm just going to
24 focus on addressing some of those three questions.

25 The role of energy storage from LADWP's

1 perspective, I'm going to be talking about, I guess, a
2 market perspective, we heard many discussions earlier,
3 and how energy storage, who should own it, I guess, is
4 the second question, and the third question is on the AB
5 2514.

6 From LADWP's perspective, I guess we have
7 activities on all aspects of the storage business, but I
8 thought maybe what I didn't see discussed was really
9 application of energy storage and LADWP does have one of
10 the largest storage facilities in the country, I would
11 say, and we have been using the facility to integrate
12 our renewable resources. This Castaic facility is 1,200
13 megawatts, and the way we have been integrating the
14 facility today, we have a project called Barren Ridge
15 Renewable Transmission Project, as shown in the diagram
16 on your slide, we have a project where we are increasing
17 the capability of that transmission system, at the same
18 time integrating that Castaic power plant, as well as
19 some hydro facilities we have in the Owens Valley, into
20 the large set of renewables we are developing in the
21 Tehachapi and the High Desert Area, solar as well as
22 wind, a large amount of wind and solar. We have done
23 some testing and currently we do have 135 megawatts of
24 wind integrated through that system, and we do expect
25 that that renewable development will be much larger in

1 the next few years, and we do see a lot of positive
2 activities from the integration perspective. So, that's
3 one activity we are doing and I think the data and the
4 work we are doing and the Castaic Pump Storage facility
5 has been going through the modernization process for the
6 last few years, we'll continue to do that, putting new
7 controls, new aspects of that pump surge facility, it
8 definitely will help us integrate our renewables a lot
9 more efficiently and effectively to the system.

10 Other aspects of renewable integration we have
11 been doing may not be 100 percent related to storage,
12 but I think is related to the activities where we have
13 wind assets far away from our system, where we are
14 bringing, using DC transmission line with dynamic
15 scheduling capacity, to be able to bring those resources
16 to Southern California, where we will maybe be able to
17 integrate those resources more effectively using the
18 pump storage facilities and whatever other things we
19 have to the system. So that's from the integration
20 point of view. The ownership, definitely, we do feel, I
21 guess, as was said earlier, if a measured component of
22 it is reliability related, we do think, of course, a
23 utility does need to have a lot of say and that's really
24 what the reservation would be from the technology
25 considerations, also, but similar with how we have

1 handled the renewable development, if any time there is
2 tax incentives and what have you, as a municipality
3 service, we have not been able - we cannot use tax
4 incentives, so we have used some kinds of optional
5 capabilities, what we could probably have a combination
6 of ways of ownership, but I think this is pretty open as
7 far as discussion in the future.

8 With AB 2514, this as we see from the
9 application of that law to the municipal utility, we do
10 plan to follow, of course, the steps. We'll go through
11 the process. Obviously, as was said earlier, we don't
12 really believe these have to be really mandates or
13 targets going forward, the technology is evolving, there
14 are many aspects to storage. I think when we start
15 talking about mandates and targets, it does take away, I
16 think, the creativity and the flexibility of what you
17 want to do, especially when you are depending on
18 technology for reliability purposes, I think you really
19 have thinking you have to do behind those targets. That
20 is my presentation. Thank you.

21 MR. GRAVELY: So our last speaker for this
22 panel, and I guess the one that has the last word before
23 the discussion, is Michael Colvin who will give us the
24 PUC perspective on the utility approach.

25 MS. COLVIN: So, good afternoon. I'm privileged

1 that I get to book-end the day, I guess. I'm going to
2 try and do this relatively quickly because I know most
3 people have been sitting a long time.

4 One of the things that I think we heard a lot
5 throughout all the utilities is this idea of let's do an
6 application approach, where does it make sense and,
7 again, I want to echo back something I talked about
8 earlier in the day, which was I think what we need to
9 try and do is come up with the general policy statement
10 and then identify within this application model, or
11 application approach, what are the interesting barriers
12 to entry, what are the interesting barriers to cost-
13 benefit analysis that needs to happen? And it
14 certainly, then, rolls back up. There can be multiple
15 applications for one technology, or vice versa, multiple
16 technologies can work in one application, and so we kind
17 of just need to make certain that we kind of clearly
18 identify the sandbox we're trying to play in here.

19 Something that I think is useful when we talk
20 about identifying applications is saying, "Well, what
21 else could also fix this problem" And this goes back to
22 one of the themes that came up at the beginning of the
23 day, of could something else that is in our loading
24 order also work? Or, could something else work here, as
25 well? Could we achieve these benefits only from

1 storage? Or is there something else that might be able
2 to do it? I'm going to give a couple of examples just
3 to help with the thought exercise.

4 The first one is you've seen the very very scary
5 graphs that have the people at the ISO, you know,
6 shaking in their boots of, how do we integrate all this
7 wind and could storage be playing a role? One of the
8 things that I wanted to kind of throw out there as a
9 through exercise was, in the 2011 solicitation guidance
10 for the RPS, for the first time, we have room in there
11 for economic curtailment, it was something that the
12 utilities very hotly contested, that you really fought
13 for, and a balance was struck there, but for the first
14 time there was a value that will be put into a contract
15 saying, "If you curtail, here is a number around it."
16 Well, for me, that's a signal of saying, "Well, in that
17 situation, or in that application, that might be a value
18 stream that storage could capture." And that's just an
19 example of here is a problem, here is a contract way
20 that we might be able to fix it, and here is a price
21 signal that might come around that might be a role for
22 storage, or it might be a role just to curtail or do
23 something else. And so that's one possibility, that's
24 one way of thinking about something.

25 Another example, this is showing my bias of my

1 roots of spending many years on CHP stuff, one thing
2 that I'm certain everyone in the room knows, when you do
3 distributed generation, at certain times there are large
4 standby rates, and sometimes that can help product
5 economics, sometimes it can kill it. Well, let's think
6 again just as a thought example, what does a standby
7 rate mean? Well, if the DG goes down, you are
8 essentially paying for the Grid as a back-up. Well,
9 should you maybe have a second stand-by? Or one, under
10 that normal example, but if you have storage, isn't that
11 acting as your own back-up? And if that is the case, do
12 you maybe want to have a different stand-by rate? And
13 would that be a situation again, the avoided stand-by
14 rate, might be a way of creating a price signal in a
15 storage application? It's not a perfect analogy, I
16 grant you, but it is something that I think we want to
17 start thinking about in that context. Again, two
18 totally different examples, but our way of what I think
19 we need to do to try and help identify opportunities
20 using this application framework, they are very
21 stylistic, I recognize.

22 Shifting a little bit to a concept of ownership
23 models, I would say for the most part we are trying to
24 be very agnostic and, just like we were trying to be
25 very agnostic as to what storage technologies should be

1 put onto the Grid, ownership models should be fairly
2 agnostic, as well. I do want to agree with some of the
3 comments that were made earlier that, depending on the
4 application, the ownership model will very naturally
5 fall out, but it doesn't have to be exclusive, so an end
6 use customer, a third-party developer, the resource
7 generator itself, the utility, somebody else, you know,
8 don't know, could own just depending on the context. I
9 think ultimately, and I'm probably channeling my new
10 boss here, but the ownership model is going to come down
11 to a question of financing. How do we get the storage
12 to actually pencil out? Is the spot market going to
13 work? Is a long term contract the only way to do this?
14 Could a rate design do this in a smarter way? Again,
15 not trying to advocate any one option, but I think the
16 financing is going to dramatically influence how we
17 decide the ownership models - and, again, it's going to
18 be very application specific, and that's something I
19 think we didn't really get into in the utility part of
20 the conversation, but I think that's where the
21 conversation ultimately is going to need to go.

22 I think my last slide on this topic, there were
23 some questions about RDD&D. I think we've heard
24 throughout the day about some of the great projects that
25 came from the Stimulus funds, from ARRA, there are a

1 variety of options that are out there of how we would
2 have been able to leverage those monies and how we maybe
3 continue to be able to leverage that data that we're
4 going to get to figure out what is the problem that
5 we're trying to fix. My last point here is not all
6 storage, however, is 10 years away from
7 commercialization and needing demonstration, some of it
8 we've had for 20 years on our system, and is ready to
9 pencil now. And so, as we're thinking about, well,
10 what's the suite of what we want within the storage
11 context, and as the utilities are looking at, well, how
12 much storage do I want on my system, it seems to me a
13 smart mix would be kind of a portfolio approach of, you
14 know, some things that are available today, some things
15 that are available a little bit longer, longer term,
16 just like every kind of emerging technology. So, I know
17 that's a simplistic point, but that's something else
18 that I think we'll need to be thinking about as we give
19 guidance to the utilities kind of in the long term. And
20 with that, thank you.

21 CHAIRMAN WEISENMILLER: Thank you, again. I
22 actually had a couple of things to follow-up on about
23 that. So, the first question is for Edison, in a way.
24 As you indicated, Edison made a very strong case of
25 needing economic curtailment for the new resources -

1 MR. COLVIN: I don't think I specified Edison,
2 alone, I think all three utilities made a very strong
3 case -

4 CHAIRMAN WEISENMILLER: Now, but the flip side
5 of that is they were, at the same time, making a very
6 strong case for the need for storage for their system.
7 So, again, having made that case, what are the numbers
8 in terms of megawatts? You know? I mean, you can't
9 both need economic curtailment which can make these
10 things un-financeable, and not need more storage.

11 MR. IRWIN: So, I'm a little bit out of my
12 element, but not as far as I might otherwise be. I'm in
13 the Advanced Technology organization, but four months
14 ago, I was in the Renewable Procurement organization, so
15 I'm a little bit familiar with the issue. What we saw
16 in, actually, I think it was one of the earlier
17 presentations, it was really the driver for us for
18 curtailment, it wasn't the, you know, \$40.00 negative,
19 \$50.00 negative, it was that inter-hour \$500.00
20 negative; actually, they showed the positive side, but
21 we actually see the same negative side. And so, you
22 know, we approached it to say operationally it makes no
23 sense that we have a generator running, as an example,
24 we pay \$100 a megawatt-hour and yet we're having to pay
25 \$500.00 a megawatt hour to keep that online, so we're

1 having a net negative \$400 for taking that energy on.
2 That was one issue. So that's the first issue of
3 wanting to curtail, is because it makes a lot of sense,
4 even if we pay the generator. And then I think our
5 second issue was, well, we should have the market price
6 this risk to us because, in some circumstances, their
7 view of that risk might be different than ours, and we
8 shouldn't just say, "Well, we'll pay you if we do it,"
9 we should say, "Well, what do you want us to pay you?"
10 You know, do we get any hours free that we don't have to
11 pay for it? Or, do we get the firsts 50 hours? Do we
12 get something like that? So those were really the
13 arguments we made. I think we were probably the
14 starting point, the spin-off for that. But I think it
15 was really - it started with operationally it makes no
16 sense not to be able to do this when the economics makes
17 sense, and then the second thing was, let's price it in
18 the market. We gave people certainty, actually some
19 contracts that I was involved in signing while I was
20 still there have already been project financed with
21 those types of terms, so it's clearly financeable, you
22 can put a box around it and finance it, and
23 operationally it makes all the sense in the world.

24 CHAIRMAN WEISENMILLER: But is it 50? 500? A
25 thousand? I mean, how many megawatts of storage would

1 take care of the problem on the Edison system?

2 MR. IRWIN: Well, we didn't actually - so, we
3 don't have system models looking out 20 years as to what
4 the system is going to look like, but let me just throw
5 a dynamic on what's really created this problem for us
6 was, on our system, we have a lot of - Edison has more
7 renewable assets or renewable opportunities - better
8 renewable source than the other utilities do, so we have
9 San Diego buying assets from our system and PG&E buying
10 assets for our system, so we could look at the
11 curtailment that was going to occur because of the
12 current topology of the system and the current
13 generators, we actually probably say, in most cases,
14 it's zero. Okay? So we couldn't predict it. But we
15 would say, "If somebody else built there, without
16 building additional upgrades, which the ISO process
17 allows them to come in energy only, right, and not have
18 to build a lot of system upgrades, then the whole
19 curtailment risk was really unquantifiable. So, we're
20 moving towards being able to model things hourly and
21 that, but you can still only deal with the topology that
22 you know. And so that was really the big driver for us
23 and that scenario was we couldn't value it. We could
24 guess, we could look at, you know, CRR values and things
25 like that today, but under an ever changing dynamic, it

1 was challenging.

2 CHAIRMAN WEISENMILLER: Okay, well, switching to
3 Antonio for some questions, I guess the first one was
4 PG&E was the only one who opposed the ISO's storage
5 tariff, I don't know if you're the one to explain why,
6 or whether you want to have some of your colleagues in
7 the written comments explain?

8 MR. ALVAREZ: Submit that in written comments.

9 CHAIRMAN WEISENMILLER: Okay, because we
10 definitely want to hear on that opposition. I think the
11 other thing, again, I think I mentioned before, Rory
12 gave a presentation at IEP in September on Storage, and
13 I don't know if you had a chance to dig that up, but,
14 anyway, in that presentation, I guess what I was going
15 to - again, make things easy for you - what we'd like to
16 do is have you submit that for the record here, and give
17 people a chance to respond. Rory did a number of slides
18 that tried to go through some of the technical
19 characteristics, in terms of the ramp rates of different
20 units, and also compared across some of the storage
21 technologies and tried to draw the conclusion that, from
22 his perspective, looking at ramp rates and technical
23 capabilities, that the utility really needed, in terms
24 of storage, the pumped storage and compressed air was
25 going to be much more valuable to the system than some

1 of the other technologies. And so, again, it was a
2 technical comparison and I think people will find
3 interesting and presumably provoke some comments. But
4 certainly, if we can get that in the record and give
5 people a chance to respond to that, that would be
6 useful.

7 MR. ALVAREZ: We will be glad to submit that.
8 You know, I call tell you from, thanks to my Blackberry,
9 I was able to dig up some of the ramp rates, but not
10 all, but I can tell you that our pump storage, you can
11 get from minimum to max in five to 10 minutes, so it's
12 significantly higher than conventional fossil resources.

13 CHAIRMAN WEISENMILLER: You know, but that leads
14 to the question of, obviously, Helms was designed and
15 built in the '70s and doesn't reflect any of the
16 variable speed technology.

17 MR. ALVAREZ: Right, so you could probably do
18 better than that, yes.

19 CHAIRMAN WEISENMILLER: Yeah, and I mean, so
20 ultimately I think we would certainly be curious and,
21 obviously, you have a lot of poundage hydro that was
22 built probably 50-100 years ago, which certainly doesn't
23 reflect the variable speed. So, again, certainly it
24 would be good to get on the record some of what PG&E
25 might do in terms of revising its hydro system with the

1 variable speed to, again, better integrate in
2 renewables, you know, what the cost and benefits of that
3 might be. Yeah, if you could provide that, that would
4 be great.

5 I think the last question would be pretty much,
6 again, in terms of your comments, it would be good to
7 get any suggestions - this panel has or any other panels
8 on our PIER program in terms of the R&D we've been doing
9 on storage, in terms of what the high priority should be
10 and what would make that useful from everyone's
11 perspective, given obviously our budgets are much more
12 limited, say, than the Department of Energy or EPRI's,
13 in this area.

14 MR. ALVAREZ: Right. Right now, we don't quite
15 know the size of the problem we're getting into in terms
16 of not knowing exactly the need. I mean, the ISO has an
17 estimate of need that we work with them, and, as Mark
18 mentioned before, it's a function of the assumptions
19 that you make, but you can see a range around that that
20 could be pretty significant. So our approach to storage
21 is we want to make sure that we have options by 2020 to
22 be able to integrate the renewables we have.

23 CHAIRMAN WEISENMILLER: Because when people do
24 look at Rory's package of slides, if you look at pages
25 9, 10, 11 and 12, certainly you get into some of the

1 technical characteristics, it would be good to get
2 people's comments on.

3 MR. RAWSON: I'd like to comment if I could. I
4 think maybe I didn't make the point too explicit in my
5 quick talk there, but you know, PIER is supporting some
6 of SMUD's storage demonstration projects through cost
7 share through some of our ARRA grants. I would
8 characterize our storage demonstrations as trying to
9 accomplish kind of three things, there is the storage
10 technology itself and trying to understand how it
11 operates, try to see how durable we think it's going to
12 be, how reliable it's going to be, the third kind of
13 area of research is, how do we connect it to our system?
14 How do we give our operators the ability to see it and
15 start to get them comfortable with being able to rely on
16 that asset if they have to dispatch it? And then the
17 third area of our research projects, if they're customer
18 sited, is trying to understand how that storage system
19 would affect how customers choose to use energy, for
20 example, in a demand response type environment, does it
21 give them another tool in their toolbox that would
22 change how they respond differently to dynamic pricing?
23 So, the research that is being done in that area, that
24 PIER is supporting, I think needs to continue to be done
25 so that utilities and customers get more familiar with

1 this technology that, you know, there's lots of bulk
2 storage technology that's been deployed around the
3 country, but when we start talking about distributed
4 storage, that's still kind of a new thing and I think
5 both utilities and customers need to understand that,
6 and one of the best ways to do that is to be able to see
7 it, touch it, kick the tires, etc.

8 CHAIRMAN WEISENMILLER: Okay, and I actually -
9 one question for LADWP, I did some work with the City
10 Attorney down there in the '90s involving some
11 litigation between you and Edison, and one of the
12 outcomes of that litigation was a settlement where I
13 think Edison contracted to use some Castaic, I don't
14 know if that's still in place?

15 MR. BESHIR: No, that expired, oh, a few years
16 back. That was just a temporary - it had a time limit,
17 so it has gone a few years by now.

18 CHAIRMAN WEISENMILLER: Actually, the update, of
19 course, we probably would be encouraging both of you to
20 continue that sort of discussion if there is any unused
21 capacity at Castaic that Edison might find some use for,
22 or, for that matter, San Diego. And we certainly want
23 to thank everyone for their participation in this panel,
24 we certainly appreciate the opportunity to dig into
25 these and to get this perspective. Mike, I'm sure we

1 have more questions from the audience.

2 MR. GRAVELY: Well, actually, I think what we'll
3 do, given the time and if the panel doesn't mind, most
4 of the speakers are still here and so we'll go ahead and
5 go into the public questions and I'll reserve my Next
6 Steps until after the public comments. But what we do
7 have in the first two presentations on the public
8 session is we've talked a little bit about alternatives
9 to classical storage, batteries, or flywheels, or other,
10 and one we'll hear briefly, again, for the discussions
11 in the afternoon, we'd prefer you hold your comments to
12 less than five minutes, but preferably two to three
13 minutes. But we're going to hear about auto demand
14 response as one alternative, using existing systems for
15 that, and then we'll also hear from Lon House about
16 existing water infrastructure and how we can use that
17 for similar, so if you know what you need, these are two
18 alternatives, two possible very low cost alternatives to
19 meet some of those needs. So we'll start off with Dave
20 Watson from the Demand Research Center.

21 MR. WATSON: Thanks, Mike. And thank you all
22 for inviting me here today. As Mike mentioned, I'm with
23 the Lawrence Berkeley National Lab in the PIER funded
24 Demand Response Research Center. We've been working on
25 automated demand response for about eight years now and

1 made significant progress probably best known for
2 defining some of the standards that have been embraced
3 by NIST and we now have over 100 megawatts under
4 automated demand response in California using technology
5 that we first started out as research, but has been
6 turned over to the commercial sector. Now, all three
7 IOUs, and CAISO are using technology developed by the
8 DRRC.

9 What I want to talk about today is how demand
10 response can be used as a resource for integration of
11 renewables. And I'm going to start out first by
12 differentiating what demand response historically has
13 been, which has been very slow, it's been day ahead,
14 typically, you know, telephone calls, even if it's
15 automated, it oftentimes is day ahead announcements, and
16 then also it typically lasts for many hours, you know,
17 three or six hours, hot summer afternoons,
18 traditionally. The more recent work that we've been
19 doing has been both very fast, but with little or no
20 advance notice, sometimes as little as four seconds,
21 using the AGC signal from CAISO to do the automated
22 generator signal, from CAISO to do near real time
23 control of these resources, and in this test here, the
24 red line shows - I'm pointing to what's called the "Fast
25 Demand Response Aspect" - the red line is showing the

1 signal that we committed to, and the blue line shows to
2 what we actually achieved, so even though we only had to
3 ramp up within 10 minutes, we actually ramped up in less
4 than a minute, and this is a big box retail, and we
5 think this is repeatable, and we did a scoping study and
6 found a whole host of other types of commercial and
7 industrial applications throughout the state, not just
8 on hot summer afternoons, but also many of them in the
9 other hours of the day.

10 So, why should we look at this? Lower cost.
11 You know, we've seen a lot of costs here today, but
12 after eight years of doing automated demand response,
13 we're seeing installed first costs between \$75 and \$300
14 per kilowatt installed. And we see those with mass
15 adoption by control companies, those costs even dropping
16 even further to become essentially zero incremental
17 cost, because these codes are going into the Title 24,
18 for example. So, when I talk about costs, though, even
19 though that may sound very enticing, being, what, 10 or
20 20 percent of the cost of some of the other storage
21 technologies that we've heard about, there still are
22 challenges and demand response does not equal storage,
23 it has different attributes. I think we all face some
24 of the same questions about the economic incentives and
25 those need to be looked at in more detail, but, in

1 addition, demand response is different than storage in
2 that it varies based on time and temperature to a lot
3 greater degree. And we have little data about off peak
4 demand response, although we're gathering more in this
5 scoping study that we did, that I'll show you the
6 results of in just a moment, shows that there is
7 substantial resources, 24 hours a day, 365 days a year.

8 Another challenge is the monitoring and
9 verification, and the telemetry required to show that
10 something really has been shed. And then other issues
11 that are common to distributed storage of geographic
12 distribution and control, and so forth. These are some
13 of the existing CAISO programs that we have participated
14 in already, this is not just research, although these
15 ones are pilot programs. We have participated in both
16 Reg. up, Reg. down, and non-spin ancillary services, and
17 we believe the technology is ready for spin, as well.
18 I'll go through these kind of quick.

19 We looked at all different sorts of C&I loads
20 for their potential and, you know, the ramp rates vary
21 somewhat, but we believe that some can be as fast as a
22 minute to 15 minutes or so and last anywhere from 20
23 minutes without even being noticed in many cases, to
24 several hours. A couple that I'd like to point out,
25 frozen warehouses appear to be a very good resource, you

1 can sub-cool frozen warehouses and essentially use -
2 when the prices go negative on the wholesale market, you
3 can use that energy by sub-freezing. We see a lot of
4 over opportunities in Ag pumping and data centers, also.

5 This shows - this is the results of a scoping
6 study where we looked at commercial industrial loads all
7 throughout the state, all different kinds, and looked at
8 the peak hour of the whole year, and using a methodology
9 where we took into account the existing control system
10 infrastructure, which is a proxy for how easily and low-
11 cost can we reach those loads, we can get about almost a
12 gigawatt in the hottest hour of the year and in the
13 middle of the morning in January, I think it was, we
14 could get about a quarter gigawatt throughout the state.
15 With modest investments in capital improvements, in
16 control systems, and by "modest," I mean increasing the
17 penetration of energy management control systems in
18 these facilities from, say, 30 percent in commercial
19 buildings to 50 percent, and in Ag pumping from 10
20 percent to, say, 50 percent, we can double those
21 numbers, so we can get, you know, the numbers that you
22 see there, a half a gig to two gig, roughly. We see
23 this working in conjunction and augmenting grid scale
24 storage, they're not apples and apples, they don't come
25 on line quite as quickly, but they appear to be a lot

1 less expensive, so we imagine and request rules that
2 would incentivize utilities and ratepayers to create
3 programs that made it worthwhile to make this part of
4 the loading order, where perhaps storage could come on
5 line in a few milliseconds or microseconds, a fraction
6 of a cycle, and perhaps demand response could be on line
7 within a minute or five minutes later. And that could
8 significantly shift the cost analysis of this equation.
9 And, again, it's a portfolio of products geared toward
10 specific applications. And the application, as we all
11 know, is to increase the use of renewable resources,
12 which are variable.

13 This is just a little bit more detailed data,
14 again, showing that these resources are variable. We
15 are continuing our work on this area, but it appears
16 very promising and I encourage demand response to be
17 part of the discussion in the portfolio of products to
18 integrate renewable resources in the state.

19 CHAIRMAN WEISENMILLER: Okay, thank you. I
20 think the key question is, well, what are the policy
21 measures we need for demand response, is it pricing
22 signals? Is it capacity markets? What is it?

23 MR. WATKINS: Either of those would work. I
24 like to think of it as - that structures are in place
25 technology-wise for either of those to work, but if it's

1 financially viable, or mutually beneficial for
2 ratepayers and utilities to create and participate in
3 these programs, it will happen. And if doubling the
4 rate during peak hours doesn't work, then maybe 10X will
5 work. And I should note that, when prices go negative,
6 the automated demand response works, as well, because,
7 as I mentioned, there are cases like frozen warehouses,
8 that could actually be paid to accept more energy, and
9 then use it the next day, it wouldn't just be wasted.

10 CHAIRMAN WEISENMILLER: All right.

11 MR. GRAVELY: Having thought about this also,
12 sir, one thing we mentioned is that, like in other
13 cases, the current structure for demand response and the
14 current rates are based on peak load, either peak load
15 or load shifting, using this technology is something
16 that needs to be integrated into the definition of what
17 DR is and how it's used, and what it qualifies for. So
18 there is, just like storage, there's a proof of the
19 pudding, there's a demonstration phase, we've done some
20 demonstrations as long as three and four years, we've
21 done with Joe Etto [ph.] and the residential homes, but
22 what we're running into is, going forward, in fact, that
23 the world sees DR as a summertime peak load opportunity,
24 and we need to change that for purposes of Grid
25 integration, as a 24-hour seven day a week opportunity,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 realizing the quantity isn't quite as high, but the
2 opportunity and the value is there. So, we do need to
3 look at the way DR is defined in all of the
4 documentation, and allow it to be defined in a manner
5 that it's not just peak load or load shifting.

6 Any other questions? Thank you, sir. So, the
7 next one, Lon House will give us a similar example of
8 how we can use an existing infrastructure to address
9 some of these issues also.

10 MR. HOUSE: Good afternoon. My first slide is
11 what I'm not going to tell you about, you've already
12 heard this afternoon about large pump storage
13 facilities. What I'm going to talk about is very small
14 pump storage facilities and give you a little bit of a
15 quick background on the way water systems operate.

16 All water agencies that supply treated water
17 have some sort of storage in their system. And storage
18 has been added to their system to integrate with the
19 water system, and you'll see an example a little later,
20 but it is generally - it is not set up to deal with
21 electricity, and to deal with the needs for storage
22 here. The next one, and this is just an example, what
23 you'll see is that a lot of the water systems, the
24 storage is in one of two things, it's either on the
25 beige tanks that you see on top of all the hills around

1 here, or it is underground, and one of the things that
2 the underground storage - and these two are to two huge
3 underground storage facilities, but the ones that I'm
4 actually talking about are what are called ASR, Aquifer
5 Storage Recharge, in which water is actively injected
6 into the ground. But what happens is, throughout the
7 day, water is being pushed up into storage, or injected
8 into ground storage, and then it's used when it's
9 necessary.

10 So what I wanted to do is I wanted to just go
11 through this real quick with you. This is one instance,
12 this is the El Dorado Hills Fresh Water Treatment
13 Facility, and the blue line is the pumping out of the
14 Folsom Lake, and it's running about a megawatt, and the
15 red line is the fresh water treatment facility, and this
16 is the demand response event, so you see what's
17 happening here, is this water during these other
18 periods, the water is being used, it's being either sent
19 to the system or it's being used for storage. When the
20 demand response event hit, the water treatment plant
21 shut down, 1.5 megawatts, and the pumping from the fresh
22 water from Lake Folsom pumped down, so in this one
23 instance here, in this one small system, you're getting
24 almost 2.5 megawatts of demand response. What you don't
25 see here is the generation, that's because there isn't

1 any, because in this period right here, the water is
2 still being sent out to the system, but it's being sent
3 out from storage. And one of the things that we talked
4 about in the earlier part of this century was putting in
5 generators for this time because, right now, the head
6 from this, that's coming out of storage, is just broken
7 by pressure reduction valves. And we didn't do that
8 because there wasn't any place to put the electricity,
9 but this is just an example, you can see it works for
10 demand response, this whole period, this six-hour period
11 right here, that pressure is being broken by pressure
12 reduction valves. It could be very easily run through a
13 reversible pump turbine. Okay, what the water agencies
14 right now drop between 400-600 megawatts every summer
15 afternoon, so they're used to doing that. And these are
16 just some estimates that I came up with today of - there
17 is the potential of about another thousand megawatts, I
18 estimate, of either new facilities that are either re-
19 operation of existing facilities, or the addition of
20 some additional new facilities. One of the advantages
21 is this is not a technology that we don't know anything
22 about, right? We know about how the big pump storage
23 facilities work, we know how to operate the water
24 systems, it's much less expensive than other systems
25 because you've got half of the system in there. You

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 either have the ASR field under the ground, or you've
2 got the storage facility sitting there, so the only
3 thing that you have to do is you have to put a reservoir
4 at the other end of it, and you need some sort of either
5 take out the pressure reduction valves and put in
6 generators, or you use reversible pump turbines. One of
7 the really nice things about these is these are located
8 right in the load centers, right? You can drive around
9 anyplace that's got elevation, and you can see these
10 tanks sitting up there right in the load centers. This
11 would be really valuable to have, particularly if you
12 get a big penetration of, say, residential
13 photovoltaics, because you've got something that can
14 respond, right, very very close. The disadvantage is
15 they're a much smaller size. They're under 10
16 megawatts, they're generally two to five megawatts
17 potential. They will require some additional analysis
18 and investigation to figure out what needs to be done
19 and how to integrate it with the rest of the water
20 system, and quite frankly, there's no research being
21 done on this. The Energy Commission, PIER, is not doing
22 any research on this, and the water systems aren't
23 looking at it because - right -- because what they're
24 doing is they're interested in supplying water and this
25 energy, they just basically say, "All right, fine,

1 somebody else can figure out how to do this, but you
2 have to prove to us that we can do this, it makes cost-
3 effective sense for us to do this, and it doesn't mess
4 up our system."

5 So this is just a summary of some additional
6 information, but the one thing that I would encourage
7 you to do is, while you're out there looking at all
8 these other technologies, take a look at these. You've
9 got half of the system already in place, it's not a
10 technology that's foreign or exotic, or something that
11 is foreign, we just need some demonstration projects and
12 we need some additional analysis to be able to convince
13 the water systems that it's in their best interest or in
14 the state's best interest to do some modifications to
15 their system, that are responsive to energy, not just to
16 water concerns. And that's my presentation.

17 CHAIRMAN WEISENMILLER: Okay. So, one other
18 question for you on the water agencies. I know San
19 Diego Water Authority, obviously, has large pumps that
20 they've got in a demand response program. In terms of
21 generally on the water agencies, in terms of their
22 pumping loads, how is that handled in the demand
23 response arena? Is that another opportunity? Or is
24 that already captured?

25 MR. HOUSE: Well, the total demand for the water

1 agency demand is about 3,000 megawatts in the state, and
2 that's actually a study I did for you guys. And like I
3 said, they are right now dropping between 400 and 600
4 megawatts every summer afternoon, that's in response to
5 two things, one is the bi-modal water supply that we
6 need, the other is time of use pricing. But again, what
7 they're doing is they're just operating their system to
8 supply water and it's been a - there's about 150
9 megawatts of water agency load that's currently in
10 demand response programs, but it is something that is a
11 tough sale - it's not really a tough sale, but it's
12 something that they have to get used to because, if they
13 start shutting things off in their system when they're
14 not used to doing it, they have to really make sure that
15 everything else operates and their customers still get
16 the water. And in San Diego County Water Authority,
17 they've got - it's either a 400 or - either 40 or 60
18 megawatt pump storage facility, but what I'm actually
19 talking about here are the much much smaller ones,
20 basically just the big tanks that you - you know, 8 to
21 10 million gallon tanks that you could fairly easily,
22 without much new technology, convert to being able to
23 either accept, or not accept, or produce electricity on
24 a given day and upon call.

25 CHAIRMAN WEISENMILLER: Okay, thanks.

1 MR. HOUSE: Thank you.

2 MR. GRAVELY: So, Avtar Bining has been
3 collecting the blue cards and I want to have him go
4 ahead and call people up and then, afterwards, we'll
5 take anybody from the audience that wants to speak, and
6 anybody online who has questions that we haven't
7 answered. So we'll start first with the people who have
8 submitted blue cards.

9 MR. BINING: Yes, with the Chair's permission,
10 we will allow these people to speak briefly for a couple
11 of minutes to make their comments.

12 CHAIRMAN WEISENMILLER: That would be great.

13 MR. BINING: The first request is from Alfonso
14 Baez from South Coast Air Quality Management District.

15 MR. BAEZ: Thank you, Avtar. Good afternoon.
16 As Avtar mentioned, my name is Alfonso Baez, I'm a
17 Program Supervisor in the Technology Advancement Office
18 at the South Coast Air Quality Management District, and
19 I would like to thank the Commission and staff for this
20 very informative presentation and workshop on the
21 various aspects of energy storage for renewable
22 integration.

23 The South Coast Air Quality Management District
24 has supported and continues to support clean renewable
25 generation and storage; in fact, next week, Friday, May

1 6th, we're going to our Governing Board to release a
2 request for proposal for the deployment of several
3 megawatts of renewable - of in-basin [ph.] and renewable
4 electric generation with storage to support electric
5 transportation technologies. Through this RFP, the
6 District will be making about \$30 million available for
7 deployment of these technologies. The funding comes
8 from expected mitigation fees from the permitting of
9 natural gas power plants in our district. Our hope and
10 our goal for this RFP is to leverage the funding through
11 this RFP, with other potential sources of funding, for
12 example, CEC, DOE, SJP, CSI, and other funding to really
13 move forward storage technology and renewable
14 technologies. As I mentioned to Avtar, I've been
15 wanting to come out here and mention this, we will work
16 together, our agency, with the Commission, to move this
17 very important storage technology forward in the future.
18 Thank you.

19 CHAIRMAN WEISENMILLER: Thanks for your
20 participation and for coming. I heard from a friend
21 last night about the program and she was certainly
22 excited about trying to participate in that. So I think
23 you're getting a lot of interest in Southern California
24 in this and, you know, certainly if there are ways we
25 can work together on it, that would be great.

1 MR. BAEZ: Definitely, thank you.

2 MR. BINING: Thank you, Alfonso. The second
3 speaker is Mr. Ed Stockton.

4 MR. STOCKTON: Good afternoon, Commissioners.
5 My name is Ed Stockton. I'm the President and CEO of
6 Hydrogen Technologies, Inc. I'm here today to ask you
7 that the Committee include hydrogen storage and thermal
8 hydrogen processes as viable options within the revised
9 2011 Integrated Energy Policy Report. We haven't seen a
10 lot of hydrogen up here, it's kind of like it
11 disappeared, however, Europe seems to be going hog
12 heaven over it, in fact, one of the largest hydrogen
13 generating companies in the world owned by State Oil,
14 one of the largest -- well, it is the largest hydrogen
15 generating company in the world, they're one of the
16 largest oil companies in the world -- are coming to
17 America very soon to begin deploying their hydrogen
18 technology. We are working in unison with them.

19 Hydrogen technology has developed the hydrogen
20 steam boiler. What is unusual about this hydrogen steam
21 boiler is it doesn't require an air permit, it runs off
22 of hydrogen and oxygen, not atmospheric oxygen, but
23 oxygen made from the electrolysis of the water, from
24 renewable energy. We built a 50 kilowatt unit in
25 Modesto, California, the United Association of Plumbers

1 and Pipefitters, it was a grassroots joint venture. We
2 have several hundred people that have volunteered. We
3 have the United Association of Plumbers and Pipefitters
4 and the International Brotherhood of Electric Workers,
5 who put this 50 kilowatt unit - I'd like for them to
6 speak right after, they came here today to talk a little
7 bit about it. On May 12th and May 13th, the California
8 State Pipes and Trades Council is having a competition
9 for all their apprentice down there and you and your
10 staff are invited.

11 Why is this hydrogen steam boiler - and it's not
12 just the boiler, it's the system - why is it important
13 and have value to California? First of all, the
14 question was brought up, is it volume, or is it a
15 technological breakthrough? I think one of the most
16 important parts about it is the mindset, it's how we as
17 a community in our whole - how we as the State of
18 California change our mindset on how we do business. I
19 truly believe that the technology is here in the room to
20 do exactly what you're trying to do. Being a power
21 plant operator, running power plants for West Coast
22 Operations for Florida Power and Light, both coal, gas,
23 wind, solar, geothermal, the thing that drives the value
24 - that was another question - what is the value of that
25 storage? Value is directly related on any electrical

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 delivery is based off of certainty. You contract
2 forward based off of certainty, the higher the
3 certainty, the higher the dollar value you get. That's
4 where the banks come in, they evaluate it. Hydrogen
5 steam boilers have been around for 200 years, this is
6 well known technology. Electrolysis has been around
7 since 1925, this is all bankable technology. Our system
8 serves as a battery to store and discharge power in the
9 form of steam and/or electricity when needed, using
10 stored hydrogen. It creates certainty in excess
11 renewable power for wind, solar, and water movement. It
12 strategically can shift power and time so that it can be
13 used when it's most needed, without creating air
14 pollution. It allows energy to be stored and re-used
15 cleanly, efficiently, and economically, even when the
16 wind is not blowing and the sun is not shining, or the
17 water is not moving. We've been recognized by the San
18 Joaquin Unified Air Pollution Control District, and
19 which they've given us a support letter for our
20 technology. We're using existing conventional durable
21 power plant technology. It can be built very small, or
22 very large. There are a couple more points, and then
23 I'll be done.

24 We believe that hydrogen and systems on hydrogen
25 are critical components in achieving California's

1 Renewable Portfolio Standard. We believe that it can be
2 used in conjunction with an electrolyzer anywhere on the
3 Grid to act as a load shaving or filling device to
4 balance the Grid. But we've talked about electric cars
5 doing that, well, the Norhwy, which is the Hydrogen
6 Highway throughout Norway, Finland, and whatnot, they're
7 focusing on hydrogen, they're focusing on a lot of
8 things like we are, but the hydrogen highways are a real
9 piece of equipment for them that they're making. What
10 that allows is to where, instead of deciding how the car
11 driver is going to plug in whenever they decide they're
12 going to plug in, and I can tell you right now, trying
13 to get my family to plug in to anything at any
14 particular time that I want, doesn't happen, but the
15 bottom line is, that's a lot more difficult. As an
16 example, if the temperature for tomorrow is being
17 calculated by the U.S. Weather Service and that goes
18 into the CAISO model, and on average across the State of
19 California we're off by one degree, on average, that's
20 about an 800 megawatt shift up and down; what that means
21 is that, if you could take 800 one megawatt units, a
22 little over every six miles from Sacramento to San
23 Diego, you could put a one megawatt load shaving device
24 and filling device, which you could make that as part of
25 your hydrogen highway. So, now, you can have a tank

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 measurement of actual gas, so you're not relying on when
2 the car is coming in, you just shave and load apparently
3 to each place where the tank is at. Now, what I'm
4 telling you is not a new idea, and I encourage you that
5 people everywhere that I go and having hundreds of
6 volunteers work on this project - volunteers, I might
7 add - is that there's a huge social and economic desire
8 for more distributive form of energy and it's known as
9 the Intergrid. Some of you may have seen the CNN video,
10 it's about a minute and 20 seconds, by a renowned
11 economist, his name is Jerry Rifkin, if you go to
12 [Http://FOET.org](http://FOET.org), and watch him, he will talk about the
13 Intergrid. There are three Intergrids that have already
14 started, one in Houston, one in Boulder, Colorado, and
15 one in Southern California. And this is where the
16 common denominator is hydrogen. Hydrogen can be shared
17 from pier to pier, pier to community, and it - he
18 believes in his statement to CNN, he believes that this
19 is going to be the third industrial revolution. To
20 learn more about our hydrogen boiler, you can go to
21 www.hydrogenboiler.com, and with that, thank you very
22 much for the opportunity to speak.

23 COMMISSIONER PETERMAN: Hello, thank you, and
24 glad you were able to bring that technology up in the
25 workshop today. Just one follow-up question. Can you

1 give me a ballpark dollar per kilowatt hour on using the
2 hydrogen boiler?

3 MR. STOCKTON: It's - hydrogen, there are two
4 factors to everything, just like anything, it is the
5 cost of your electricity going in and the cost of water
6 if you decide if you're cooling or whatnot. Typically,
7 it can be anywhere from about - if wind costs you 5.2
8 cents a kilowatt, then you would multiply that a factor
9 of a little over three, to up to five, depending on the
10 technologies that are out there. So, 5.2 could cost you
11 \$.15. So, from a strategic time shifting component,
12 then what you're able to do is you're able to take wind
13 power like on the Altamont where they don't even run
14 them at night, they feather them because there's no
15 value in it, and you could now turn that into daytime
16 power. And we know how much peak power costs and how
17 that all goes.

18 COMMISSIONER PETERMAN: So, sorry, was the
19 assumption there that you're using wind to generate the
20 hydrogen?

21 MR. STOCKTON: Wind, solar, water, yeah. Wind
22 was the example of it, and then there are capital costs
23 and however you lay that out. Our focus right now is on
24 wind, that's where we see the market.

25 COMMISSIONER PETERMAN: Thank you.

1 MR. STOCKTON: You're welcome. Thank you.

2 MR. BINING: Yeah, the next speaker is Mr. Billy
3 Powell from Electrical Workers.

4 MR. POWELL: Good afternoon, Commissioners. My
5 name is Billy Powell. I represent the Electrical
6 Workers in the Central Valley for Local 684. Obviously,
7 there are many opportunities in different ways to apply
8 storage. My request is that hydrogen definitely should
9 be considered in your policy as you really make your
10 policy coming forward. So, thank you very much.

11 CHAIRMAN WEISENMILLER: Thank you for coming.

12 MR. BINING: The next one is Bill Taylor from
13 [Inaudible].

14 MR. TAYLOR: I always make that mistake and let
15 Ed talk first. Bill Taylor, I'm with the Plumbers and
16 Pipefitters over in the Central Valley Area. It's
17 pretty obvious from what Ed said, a boiler that produces
18 steam without any emissions and how important that is to
19 the plumbing and pipefitting industry. That's what we
20 do for a living, we install boilers and put in pipe. We
21 see a great need in California for this type of
22 technology. We feel that it's going to be put in a lot
23 of plants, retrofits, and things of that nature. It's
24 going to be a simple process. It can be configured to
25 look and have the same connections as a regular boiler,

1 so basically you're taking one out and replacing it with
2 one that has zero emissions. So, we felt so strongly
3 about the technology that we actually installed one in
4 our facility for training purposes, and for HTI to
5 demonstrate. And like Ed said, we're going to have a
6 demonstration on the 13th, and everyone is invited, and
7 if you can't make that day, we'd be more than welcome to
8 set something else up to where you can come and see it
9 from start to finish. So, again, I'll just say that we
10 think that hydrogen should be part of this plan and
11 should be installed into it. So, thank you for your
12 time.

13 COMMISSIONER PETERMAN: Thank you. Before you
14 leave, can you give more information about the
15 demonstration to the workshop leaders? That would be
16 useful.

17 MR. TAYLOR: Absolutely, yes.

18 COMMISSIONER PETERMAN: Thank you.

19 MR. BINING: The next speaker is Harold
20 Gottschall about sodium sulfur batteries experience in
21 the U.S.

22 MR. GOTTSCHALL: Thank you, Avtar. As he said,
23 my name is Harold Gottschall and my company is
24 Technology Insights. I'm here on behalf of NGK
25 Insulators. We were the manufacturer of sodium sulfur

1 batteries. A little bit of history. A sodium sulfur
2 NaS battery was developed by a utility, that's Tokyo
3 Electric Power, for utilities. It's a six-hour battery.
4 The first six megawatt unit was commissioned in 1996.
5 We've been supporting NGK for the past 10 years. And
6 the principle request I have of the body here is to
7 address the problems that has delayed the
8 commercialization of NaS batteries in the U.S. There's
9 some 300 megawatts deployed worldwide; in that 10 years,
10 we've only deployed 20 in the U.S., only 13 are
11 operating, six of those are still in a warehouse in
12 California for the last two years. The underlying
13 barrier has been the legacy market structure and
14 regulations that you've heard from other sources, that
15 as you proceed into AB 2514, this is an issue that must
16 be dealt with for any technology like a NaS battery,
17 that is, a technology that will perform multiple
18 functions and you've heard many of the speakers describe
19 what those multiple functions are. Thank you for your
20 time. I will put my suggestions in comments.

21 CHAIRMAN WEISENMILLER: Thank you for coming.

22 MR. BINING: Next, we have Amber Riesenhuber
23 from Independent Energy Producers Association.

24 MS. RIESENHUBER: Good afternoon, Commissioners.
25 My name is Amber Riesenhuber for the Independent Energy

1 Producers Association. First, I'd like to thank you for
2 a very interesting and informative workshop today. As
3 mentioned throughout the workshop, solar -- storage is
4 one mechanism that can provide the ancillary services,
5 Grid reliability, and load following requirements that
6 will be needed to integrate the renewable resources.
7 But while storage is one mechanism to provide these
8 services and products, we think there are other
9 technologies out there that can equally provide the
10 products, as well. Our view is that we should allow
11 these other technologies, as well as storage, to compete
12 in the procurement process, on a competitive level
13 playing field so that we can have the best solution at
14 the lowest cost. We like solar - I keep saying "solar"
15 - we like storage and we think that it's a viable option
16 that we can employ as we move forward in the emerging
17 and existing technologies, but we'd like to see it
18 implemented and integrated in a low cost fashion, and
19 through a competitive procurement mechanism. So, thank
20 you for the opportunity to comment today.

21 CHAIRMAN WEISENMILLER: Thank you for coming
22 today and thanks for your comments.

23 MS. RIESENHUBER: Thank you.

24 COMMISSIONER PETERMAN: Just curious, what are
25 the alternative products to storage that you would like

1 to see in the same competitive marketplace?

2 MS. RIESENHUBER: Well, we represent about
3 26,000 megawatts of all the different technologies that
4 we think can also provide these ancillary services, and
5 we'd like to see them compete, as well, with these solar
6 technologies in the competitive procurement process.

7 COMMISSIONER PETERMAN: So gas plants?

8 MS. RIESENHUBER: Yes.

9 COMMISSIONER PETERMAN: Okay.

10 MS. RIESENHUBER: Thank you.

11 MR. BINING: One more, last one is Craig Horne
12 from [inaudible].

13 MR. HORNE: Thank you, Commissioners. My name
14 is Craig Horne and I'm CEO and Co-Founder of EnerVault
15 Corporation. We're a venture backed company down in
16 Sunnyvale and we're one of the ARRA storage
17 demonstration award winners that were mentioned earlier
18 with Imre Gyuk's presentation, putting a system down in
19 Turlock, California at an almond farm, and one thing I
20 just wanted to point out with that application is that
21 there's a significant number of off-Grid diesel pumps
22 used for groundwater and that would translate to between
23 600 and 900 megawatts of added load on the Grid if those
24 were converted over to electric. If you look at the
25 price of diesel today, \$4.00 to \$5.00 a gallon, it's

1 getting pretty expensive to run the diesel pumps. The
2 main reason I'm here is you asked a question earlier
3 about is it going to take volume or breakthroughs to
4 move things forward, and I want to echo the comments
5 earlier about it needing to be volume. Being a venture
6 backed company, we talk to a lot of different venture
7 investors and the biggest thing that they're looking for
8 is clear signals, and I think when you look at the
9 technologies like ours and others, and you heard about
10 today, they can be very cost-effective if the different
11 value streams that they provide can be monetized from a
12 single system, especially ones that are located down in
13 the load center next to users. The other thing, on the
14 notion of value, too, I wanted to put forth, is that we
15 talked a lot about the present value and how it would
16 impact the Grid today with avoiding T&D upgrade
17 deferrals, or provide ancillary services, but the other
18 way I think you should think about storage in the big
19 picture is that is a buffer against future price shocks.
20 If you look back in 2008, where natural gas went up to
21 \$12.00 or \$14.00 a million Btu, even today, over in Asia
22 now, it's up to about \$11.00 a million Btu because it's
23 pegged to the price of oil. Down the road, if we start
24 getting back into a booming economy, a global basis, you
25 might see these prices go up again, and with renewables

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 having to be backed by things like natural gas,
2 consumers will be subjected to large price spikes, so
3 with storage and renewables, it might be higher cost at
4 the beginning, but you have insurance against price
5 spikes down the road, and so somehow if that could be
6 figured in the value equation, I think that would be an
7 important aspect. Thank you.

8 CHAIRMAN WEISENMILLER: Thanks for your
9 comments.

10 MR. BINING: Yeah, we have a few questions on
11 the WebEx here.

12 MS. KOROSEC: Mr. Shims, we're opening your line
13 now. Go ahead and ask your question. R.J. Shims, you
14 had a question about New York ISO. Are you on the line?

15 MR. SHIMS: Hello?

16 MS. KOROSEC: Yes.

17 MR. SHIMS: Hi, sorry about that. Yeah, my
18 question just generally was, I know that, in New York
19 ISO, they had introduced a year or year and a half ago a
20 actual storage tariff and they had some at least
21 demonstration projects, but utility scale projects that
22 were going in, one of them may even be operational now,
23 and I was just curious if anybody had any information or
24 insights that could be shared from New York ISO, which
25 it sounds like they're a couple years ahead of where

1 California is, in terms of doing something concrete with
2 respect to promoting storage and its integration into
3 the Grid.

4 MR. GRAVELY: Mike Gravelly. I think we have our
5 ISO representatives that are no longer here, so my
6 personal experience in checking into these is we have
7 companies from the East Coast coming out, looking for
8 similar tariffs from on the West Coast, and I just - our
9 structure is not the same as the East Coast, and our
10 tariff structure is slightly different, and how they
11 implement the FERC rules are different, and so I think
12 we heard from our last representative that they are
13 moving forward with storage tariffs and those types of
14 things, but they haven't had as much of an aggressive
15 direct interface as some of the East Coast ISO's have,
16 so I don't know specifically what's happening out there,
17 but I can tell you that our ISO is implementing the same
18 rules, but not at the same pace.

19 CHAIRMAN WEISENMILLER: Yeah, but again, there
20 is a demo down at the AES facility in Southern
21 California that has an ISO storage tariff, so there is
22 at least a demo in California.

23 MR. GRAVELY: That's correct, I'm sorry, there's
24 one in Long Beach, there's a two megawatt system with
25 AES, that's correct.

1 MS. KOROSSEC: All right, next we have a question
2 from Richard McCann. Richard, your line should be open.
3 Richard, are you there? All right, the next one was
4 from Jim Hicks, can you open Jim's line? Oh, he is no
5 longer online. All right, we have the written question,
6 so what we can do is give those to our staff and then
7 they can respond either via email or via a posting on
8 our website. All right, we're going to open all the
9 phone lines. If there is anybody who was not hooked
10 into the WebEx who would like to ask a question on the
11 phone. All right, no questions on the phone.

12 MR. GRAVELY: Any further questions from the
13 audience here? Does anybody have any questions that
14 didn't get a chance to come forward? Sure.

15 MR. WINTER: Hello. Thank you for the day. My
16 name is Rick Winter. I'm Founder and CTO of Primus
17 Power. We were mentioned a little earlier in one of the
18 very large and colorful slides, I really appreciate
19 that. I wanted to echo a few comments from before and
20 perhaps give a little color to the volume vs.
21 breakthrough question. It's a very important question
22 that needs to be, I think, there is no doubt at all in
23 my mind that it's volume, it's not breakthrough.
24 There's a tremendous pent up availability of
25 breakthroughs of intelligence and brilliance that we

1 have in this state, and we're not utilizing it. I've
2 been involved with four different start-ups in terms of
3 building up storage technologies. I've been working in
4 Grid storage for 22 years, starting on the small Coconut
5 Island in the Torres Straight between Australia and New
6 Guinea and the difference between running the company I
7 have now and the three other companies is pretty
8 dramatic, it started with a 75,000 CEC PIER EISG Grant
9 and that built with funding from venture capital and
10 from the Commission, enabling an ARRA Grant, and the
11 difference in being able to get stuff done and knowing
12 where you're going, and having some sort of road map,
13 and being able to go to a vendor and say, "We're about
14 to build a 25 megawatt battery, are you interested," the
15 difference in being able to reduce the risks when you're
16 looking to market opportunity is just night and day
17 dramatically different. And that's what we don't have
18 today, we just went through a round of funding, we just
19 raised another \$11 million. We went through a lot of
20 venture firms and, thank God it's fun to do this because
21 I've got to say, it's a little nauseating sometimes, but
22 one of the biggest risks - I'll just tell you about
23 three risks - there's technical risk, financial risk,
24 and market risk, over and over and over again, it was
25 the market risk that was the biggest problem with being

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 able to see whether it is worth doing energy storage.
2 And I think this is the area that the Commission can
3 address and I think this is an area that is incredibly
4 important to being able to solve a lot of the technical
5 issues we've been talking about today. Thank you.

6 CHAIRMAN WEISENMILLER: Thank you for coming.
7 Thanks for your comments.

8 COMMISSIONER PETERMAN: I'm also glad to hear
9 that you were able to leverage PIER funding with venture
10 capital funding, as well.

11 MR. GRAVELY: Last call for questions. Sir,
12 last comments?

13 CHAIRMAN WEISENMILLER: I, again, thank everyone
14 for their contributions today. I think we've had a
15 productive workshop, certainly we have more coming up, a
16 preview of coming attractions as we look at distributed
17 gen on May 9th. I certainly would appreciate people's
18 interest and comments on that.

19 COMMISSIONER PETERMAN: Yes, I'll just echo the
20 Chairman's sentiments, great to see everyone here. This
21 was a very fruitful discussion, I learned a lot, and am
22 looking forward to engaging with all of you going
23 forward on how we deal with this issue. Thanks.

24 MR. GRAVELY: Thank you. Commissioners, so I
25 will close, I also want to thank Avtar for doing most of

1 the work of setting up the conference, getting all the
2 people here, the IEPR staff for arranging everything for
3 us, so it's been - fortunately, we've had two good
4 workshops, please provide us any written comments that
5 you have, we can use your written comments as we work
6 together and develop recommendations. As we develop
7 recommendations, we will share those with the public,
8 they will be part of the IEPR in the fall, and you will
9 have a chance to review and comment on those. If you
10 have questions, you can contact us any time, but we will
11 take all the information we've gotten from the last two
12 workshops, and the other workshops, and do our best to
13 come out with recommendations for the future, and we
14 would encourage your feedback from when we are able to
15 put the recommendations together, and if you have
16 specific recommendations, by all means, please send them
17 to the docket by May 11th. May 11th is the deadline for
18 comments - okay, May 16th, anyway, so please if you have
19 information that you'd like to augment, that we didn't
20 cover today, we'll also take that. And if there are
21 technologies out there that we didn't get to cover, feel
22 free to share those with us, we will be doing a
23 technology assessment as part of the IEPR, so we would
24 encourage your information if it wasn't presented either
25 in November or today. Thank you all very much for

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 coming and we appreciate all the time and your interest.

2 Thank you.

3 [Adjourned at 4:31 P.M.]

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25