

DOCKET**09-AAER-2**DATE May 19 2011RECD. June 06 2011BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
)
 2011 Rulemaking on Appliance) Docket No. 09-AAER-2
 Efficiency Regulations,)
 California Code of Regulations,)
Title 20, Sections 1601 through 1608)

**Efficiency Committee Workshop on 2011 Rulemaking Proceedings
 Phase II on Appliance Efficiency Regulations**

CALIFORNIA ENERGY COMMISSION
 HEARING ROOM B
 1516 NINTH STREET
 SACRAMENTO, CALIFORNIA

THURSDAY, MAY 19, 2011
 10:00 A.M.

Commissioner Karen Douglas, Presiding Member

Reported by:
 Michael Connolly

California Reporting, LLC
 52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

STAFF

Michael Leao, Appliances and Process Energy Office
Dennis Beck, Jr., Senior Staff Counsel
Ken Rider, Appliances and Process Energy Office

ALSO PRESENT (* Via WebEx)

Andrew Vourlos, Underwriters Laboratory *
Suzanne Foster Porter, ECOS
Christopher Paul, Motorola Solutions
Dan Jakl, Motorola Solutions
Larry Albert, Stanley Black & Decker *
Pierre Delforge, NRDC
Gary Fernstrom, PG&E
Rick Habben, Wahl Clipper Corporation
Ric Erdheim, Philips Electronics
Jennifer Cleary, AHAM
Henry Wong, Intel
Don Bartell, Motorola Solutions *
Joanna Mauer, *
Spencer Stock, Lester Electrical
Mark Sharp, Panasonic
Jeff Hailey, Dell *
Katt Fretwell, Tektronix *

INDEX

	Page
Welcome and Overview	
Michael Leao, Energy Commission	5
Introduction and Scope/Purpose of Workshop	
Karen Douglas, California Energy Commissioner	6
Underwriters Laboratory Program Overview	
Andrew Vourtos, Underwriters Laboratory	10
Staff Review of Current Battery Charger Proposal	
Ken Rider, CEC	20
Title 20 Standards for Battery Charger Systems: Current Issues	
Suzanne Foster Porter	33
Presentation by Motorola Solutions	
Christopher Paul, Motorola Solutions	53
Dan Jakl, Motorola Solutions	65
Lunch	
Presentation by Stanley Black & Decker	
Larry Albert	71
Presentation by NRDC	
Pierre Delforge	87
Open Discussion on Battery Charger Proposal	
Gary Fernstrom, Senior Program Engineer, PG&E	95
Suzanne Foster Porter, Senior Manager, ECOS	100
Rick Habben, Regulatory/Safety Compliance Engineer, Wahl Clipper Corp.	106

INDEX(cont.)

	Page
Open Discussion on Battery Charger Proposal (cont.)	
Ric Erdheim, Senior Counsel, Legislative and Regulatory Affairs, Philips Electronics	120
Jennifer Cleary, Director, Regulatory Affairs, AHAM	130
Henry Wong, Senior Staff Technologist, Eco-Technology Program Office, Intel Corp.	138
Don Bartell, Motorola Solutions (via WebEx)	146
Joanna Mauer, Appliance Standards Awareness Project (via WebEx)	149
Spencer Stock, Product Marketing Manager, Lester Electrical	152
Mark Sharp, Group Manager, Corporate Environmental Department, Panasonic Corp.	157
Dan Jakl, Motorola Solutions	160
Henry Wong, Intel	165
Suzanne Foster Porter, ECOS	167
Spencer Stock, Lester Electrical	168
Jeff Hailey, Office of Environmental Affairs, Dell Corp. (via WebEx)	169
Katt Fretwell, Product Compliance Engineer, Tektronix (via WebEx)	172
Pierre Delforge, NRDC	177
Christopher Paul, Motorola Solutions	179
Closing Remarks	180
Adjournment	181
Certificate of Reporter	182

1 P R O C E E D I N G S

2 MAY 19, 2011

10:08 A.M.

3 MR. LEAON: I think we are about ready to get
4 started here. I apologize for the delay. For the record,
5 my name is Michael Leacon, Manager of the Appliance and
6 Process Energy Office here at the California Energy
7 Commission. Welcome to the Efficiency Committee Workshop.
8 Today we will be discussing proposed changes to the battery
9 charger regulations, the draft regulations that were
10 released at a March 3rd workshop. And this morning I will
11 have a brief introductory presentation. Then I will be
12 turning it over to Commissioner Karen Douglas for some
13 opening remarks.

14 First, let me begin with some housekeeping
15 announcements. Outside the double doors here to your right
16 there are restrooms. When you leave the building make sure
17 you leave through the main exit on the Ninth Street side.
18 At the side exit the alarm will sound if you use that exit.
19 There is a cafeteria on the second floor. If you go out the
20 doors to your left and up the stairs and directly to your
21 left under the white awning there is a cafeteria. There are
22 restaurants nearby, straight down O Street at 11th and O
23 there is a Mexican restaurant and there is a cafeteria in
24 the Secretary of State office, also at 11th and O.

1 Regarding protocol for today, we do ask that if you
2 want to speak that you fill out a blue card. We will
3 provide those to you and we would ask that you bring those
4 up to the table where the Commissioner is sitting and she
5 will call on speakers throughout the workshop today. Also
6 if you can provide a business card for the court reporter if
7 you are going to make remarks during the workshop.

8 Okay, with that I would like to turn it over to
9 Commissioner Karen Douglas for opening remarks.

10 COMMISSIONER DOUGLAS: Thank you. I am
11 Commissioner Karen Douglas. I'm the presiding member of the
12 Efficiency Committee. And I would like to welcome all of
13 you to this committee workshop on the Energy Commission's
14 proposed Title 20 standards for battery chargers. These
15 standards when they are fully in effect as proposed would
16 save 2100 gigawatt hours per year and nearly \$300 million
17 per year for California ratepayers. California has
18 traditionally been a leader in setting appliance standards
19 and we have the opportunity to do so again in setting the
20 bar for battery chargers. And at the same time, as many
21 stakeholders who have been engaged in other processes before
22 the commission know, we want to hear from stakeholders. We
23 have an open process, we will listen to you and work with
24 you in terms of making sure that what we propose will work.
25 And so we wanted to have - I want to have this workshop in

1 order to give stakeholders an opportunity to speak to the
2 committee. And also to vet some proposed changes to the
3 standards that we put forward recently with the notice for
4 this workshop.

5 This is the third workshop on battery charger
6 standards, although it's the first committee workshop. We
7 held a workshop on October 11th to begin taking comments on
8 the IOUs Codes and Standards Enhancement study. And then
9 after receiving input, energy commission staff conducted
10 additional analysis and developed a proposal, which was the
11 subject of a second workshop on March 3, 2011. We put
12 forward several proposed changes to the proposed regulations
13 in response to industry concerns, including extending the
14 compliance date for non-consumer chargers.

15 Today's committee workshop is being held to make
16 sure that all stakeholders have an opportunity to speak to
17 the committee about your views on the entire battery charger
18 standards package and also on the changes that we have put
19 forward in this iteration. So with that I would like to ask
20 Mike Leason to make a brief presentation and then we will get
21 going with the presentations.

22 MR. LEASON: Thank you, Commissioner Douglas. And I
23 will be very brief. Again, if we could toggle through to
24 the next line. Commissioner Douglas already provided a nice
25 summary of where we are at in the process. I do want to

1 emphasize that we are still in a pre-rulemaking phase for
2 this proceeding. Next slide, please.

3 Again, why are we pursuing standards for battery
4 chargers? In the near term they offer the greatest
5 potential for statewide energy savings. Other devices that
6 we are contemplating in future rulemaking cycles for
7 standards won't achieve as much savings as the battery
8 chargers could achieve. So we think this is an important
9 product that we achieve savings under. Next slide, please.

10 And you have seen this slide before. What we are
11 trying to accomplish through these standards is to reduce
12 the amount of energy that is being wasted after batteries
13 have been fully recharged. Our objective is to try and
14 reduce that amount of wasted energy by up to 40 percent,
15 which we think is a very measured approach under the
16 proposed standards. Next slide, please.

17 Regarding the agenda for today, we do have some
18 presentations scheduled for this morning. We will hear from
19 UL labs in regard to their program. We will also have a
20 staff presentation that will summarize the changes to the
21 standards from the March 3rd workshop. So Ken Rider will be
22 walking us through all of those changes. We will also have
23 a utility presentation. After lunch we will have open
24 discussion. We do have requests from Motorola for a
25 presentation. So whether that happens after lunch or before

1 lunch, I think, depends on how far we get this morning with
2 the other presentations. We would like to ask that we hold
3 questions until we get to the open discussion part of the
4 workshop. We would like to get through all of the prepared
5 presentations before we get into specific questions. Next
6 slide, please.

7 Again, the purpose of the workshop is to take your
8 comments today on the changes that we've made to the
9 standards that were released last March. I know staff has
10 been working very diligently with stakeholders to address
11 stakeholder concerns about those standards and I think
12 they've made significant progress. And I think these
13 changes hopefully will have addressed the main concerns. I
14 understand there are still some outstanding concerns and we
15 certainly want to hear from stakeholders about the concerns
16 that you still have in regard to the standards. Again, the
17 scope today, we're focused just on the battery chargers.
18 This rulemaking does include moving lighting control
19 standards into Title 20. We haven't received any comment on
20 that so we won't be addressing that portion of the
21 rulemaking in today's workshop. Next slide, Ken.

22 As far as next steps, after the committee workshop
23 today we will review all of the written comments we receive,
24 we will review the testimony that's offered today, we will
25 consider what additional changes we need to make to the

1 standards. And based on those changes at that point we will
2 go back to the Efficiency Committee and ask for their
3 direction on whether to begin the formal rulemaking phase
4 under this proceeding. I think schedule-wise we are
5 probably looking at the end of June to notice the formal 45
6 day review period for the proposed permanent regulations.
7 And that concludes my introductory presentation.

8 I think our next presenter is UL.

9 MR. VOURLOS: Hi, everyone. I'm calling in from
10 New York at our Underwriters Laboratory Melville location on
11 Long Island. My name is Andrew Vourlos and I am with UL for
12 now a little over eighteen years, just to give you a little
13 bit of background on me. For the last thirteen of these
14 years I've managed a few programs here, our anti-
15 counterfeiting program. In 2010 I helped launch our new
16 energy efficiency certification program. And recently I
17 just became the Quality Manager for one of UL's business
18 units called Verification Services. And that's what the VS
19 is in my title.

20 I was asked by the California Energy Commission to
21 just give a brief overview for those on the call and in the
22 workshop that maybe weren't too familiar with Underwriters
23 Laboratories, what we are about and what we do. So I just
24 prepared a few slides today to walk everyone through it. So
25 I'm not sure, whoever is running the slides if they can

1 click it to the next one that would be great. Thank you, my
2 friend.

3 I'm just going to go over a few things today, what
4 UL is in general. What we've been doing in the space of
5 energy efficiency, there have been some questions that have
6 come up about how UL when it certifies a product how does it
7 maintain a certification of a product, whether it's for
8 product safety or energy efficiency. And the last item I
9 was going to talk a little bit about was laboratory
10 accreditation, in particular what we've been doing with our
11 labs in energy efficiency. I put a Q&A slide up but I know
12 there will be Q&A at the open discussion, so we will
13 probably just pass over that. Okay, next slide. Thank you
14 so much.

15 Some of you probably already know but for those that
16 don't, UL is a not-for-profit product safety testing company
17 that was started in 1894. And our predominant business has
18 been to certify products to safety standards, most of which
19 we actually write ourselves. The way the process actually
20 works is that samples of a product that represent what the
21 manufacturer is going to ultimately want certified by UL are
22 submitted to UL for evaluation. And if we determine that
23 the product meets all the requirements of the standard that
24 it's being submitted against we will actually certify that
25 product and cover it in our certifications database.

1 If a product meets all the requirements that we've
2 evaluated it to then we would authorize the use of a UL mark
3 on the product and we would also, if the program permitted,
4 issue a certificate that informs the client that the product
5 is now covered by UL. The testing and evaluation of samples
6 can either be done in our own laboratories, they can be done
7 in third party laboratories, or we can actually do them at a
8 manufacturer's laboratory under a data acceptance programs,
9 which I will touch on after. Product certification can
10 remain in effect as long as the product continues to comply
11 with the requirements it was evaluated to. If those
12 requirements, of course, change then in order for that
13 product to maintain its certification we would have to re-
14 evaluate it. If a manufacturer happens to make changes to a
15 product that has already been covered by us then part of the
16 agreement with UL and its manufacturers is that we need to
17 evaluate that change before we can permit the certification
18 to continue. Now, most of this has been centered around
19 product safety but in the last few years now, especially
20 with the revamp of the Energy Star Program, we are now
21 offering certifications for energy efficiency to the Energy
22 Star Program. Okay, next side, Ken.

23 We have actually been in the energy efficiency
24 testing business for a number of years now, actually over a
25 decade. Our program start when our good neighbor to the

1 north, Natural Resources Canada, had introduced its own
2 energy efficiency regulations whereby they required third
3 party certification of any product category that they
4 regulated for energy efficiency. And, of course, in the US
5 there is the Department of Energy Electric Motor Program,
6 which allows for third party certification of electric
7 motors to DOE efficiency requirements in addition to also
8 being able to test electric motors and a lab that maintains
9 Navlab accreditation. Also some of our laboratories in the
10 US and abroad, for California's purposes, will register with
11 the California Energy Commission when our customers ask us
12 if we will test their product for efficiency so they could
13 submit their report to California and be able to sell their
14 products there.

15 Last year actually UL embarked on a new approach to
16 energy efficiency certification. Historically in the first
17 bullet I reference the EVS program. And that was our energy
18 efficiency program for a select number of product
19 categories, predominantly categories regulated by Natural
20 Resources Canada. And that program tied product safety
21 testing by UL to an energy efficiency evaluation. In 2010
22 we embarked on a new certification program that was
23 predominantly driven by the requirements of the Energy Star
24 Program, which went to a third party model. And in the EEC
25 program we've opened up our evaluation capability to a host

1 of other product categories, most of which you can all find
2 on the Energy Star website. And in doing so part of that
3 program entails that we will provide certification services
4 just for the energy efficiency portion. The product itself
5 we don't necessarily have to evaluate for safety. And UL
6 laboratories with specific energy efficiency testing
7 capabilities are accredited to conduct the test message
8 referenced by the Energy Star Program requirements. The
9 Energy Star Program requirements, for those who maybe are
10 now aware, require both the laboratory to be accredited and
11 the certification body to be accredited. So we had to make
12 an assessment of all our laboratories and determine which
13 labs will do which type of testing for energy efficiency on
14 products and then have all of their existing accreditation
15 scopes expanded to include the energy efficiency test
16 methods required by, for example, an Energy Star Program for
17 battery chargers. Okay, Ken.

18 I wanted to just touch briefly on how does UL
19 maintain the certifications that it grants? Well, basically
20 there are three mechanisms. Factory inspections, also
21 called Follow-Up Services or FUS for short, is where UL
22 inspection representatives will actually visit a
23 manufacturing location that is producing a product that we
24 have certified. They are required to go into these
25 factories at a minimum of once per quarter. And what they

1 will do is take a product off a production line that we have
2 certified and they will compare the construction of that
3 product to the report that we wrote for that product. And
4 the report is - think of it as a description of all the
5 items that make up that product's construction, including
6 dimensions, materials and components. Any deviations from
7 the authorized construction the UL representative would
8 write up on a factory inspection report and he would turn
9 that in to UL and we would evaluate the changes to the
10 product and determine whether or not it still complies, if
11 it doesn't comply, if it needs retesting. And then we work
12 with the manufacturer to make sure that the product is
13 brought into compliance. The second item, market
14 surveillance or verification testing, is where UL actually
15 will go out into the market where the products are sold and
16 actually purchase them and retest them. And the third thing
17 is a file review, where UL re-evaluates products it has
18 already certified when a standard that was used as the basis
19 to evaluate that product has changed.

20 Now, I footnoted each of these items because for the
21 first one, in factory inspections, that's the compliance
22 mechanism we use for certifying products for product safety.
23 It's very specific inspections that involve actually looking
24 at all the components and construction features that make up
25 that product from when it was originally evaluated. The

1 second item, verification testing, that is used for energy
2 efficiency certifications whereby you don't actually have a
3 descriptive report of all the details and ins and outs of
4 how the product is made. The original certification report
5 was based on testing to the standard or regulation for
6 efficiency for that type of product. And what we will do is
7 go out into the marketplace and buy that product and retest
8 it in the same way. And the third item, file reviews, is
9 actually used in both circumstances. When we are doing
10 certification work, if it's for product safety more than
11 likely it's to a UL safety standard.

12 And from time to time UL safety standards change.
13 They change because new requirements may be introduced to a
14 standard based on new technology or industry concerns that
15 the UL holds standards technical panel meetings and decides
16 what the new requirements will be with plenty of stakeholder
17 input. And at some point when the new requirements are
18 agreed upon we will put in an effective date. And then all
19 products that are certified to the previous version of that
20 standard would have to be re-evaluated in order to continue
21 their certification. Up until the effective date of the
22 change they can continue to mark the product with the UL
23 mark but once the effective date for the change goes into
24 effect, if a product no longer meets the current
25 requirements then it would be decertified or delisted. And

1 the same would hold true with verification testing. If it's
2 a standard or regulation, say an energy efficiency
3 regulation, that's going to change and we have certified it
4 to the previous specification then by the time the new
5 specification goes into effect that product will either have
6 to have been retested to know it complies with the new
7 regulation or it will be delisted. Okay, Ken. Thanks, my
8 friend.

9 I mentioned a little bit about laboratory
10 accreditation earlier. UL's laboratories for the most part
11 are all accredited to do some type of testing, whether it be
12 product safety testing or energy efficiency testing or
13 electromagnetic compatibility testing if the need is there.
14 For energy efficiency the labs that we are doing energy
15 efficiency testing work in all have to be accredited.

16 MR. RIDER: Andrew, could you step a little closer
17 to your microphone or speak a little more directly into it.
18 We are starting to lose your voice a little bit in here.

19 MR. VOURLOS: I've got it right to my head.

20 MR. RIDER: Great, that sounds much better.

21 MR. VOURLOS: Okay. For the laboratories that we've
22 got covered for energy efficiency the requirements that
23 they've been accredited to are predominantly for the Energy
24 Star Program requirements. So if there are any standards
25 that are referenced by Energy Star Program requirements,

1 let's say for battery chargers or computers or light
2 fixtures, we're getting our laboratories' scopes updated to
3 include all of the test methods covered by those programs.
4 In particular, for battery chargers - since that is the
5 topic of this workshop today - we have currently three
6 laboratories that accredited to do the Energy Star testing
7 for battery chargers and that is our lab in Germany which
8 just recently became accredited to do that testing; our
9 office in Japan, which got accredited last year; and our San
10 Jose office, which was actually the first UL office to get
11 accredited to do high tech products, battery chargers being
12 just one of many product categories they've got covered.

13 I threw in a brief bullet on lighting controls but,
14 as Michael says, is not going to be covered in this
15 workshop.

16 And the last thing I wanted to bring up about
17 laboratory accreditation is data acceptance. And although
18 it's not accreditation, what data acceptance means in the
19 world of UL or likely any third party certification body is
20 when the certification body will go out to a manufacturer's
21 laboratory and actually assess their capability to do
22 testing to the requirements that they are looking to have
23 their product certified to. It's like accreditation but
24 it's not because UL is not an accreditation body. But what
25 we do use is ISO 17025, which is the international standard

1 for testing and calibration laboratories. And we will take
2 elements from 17025 and apply them directly to a
3 manufacturer's lab. Provided the laboratory meets those
4 requirements we can then enroll them in what is called a
5 Data Acceptance Program. It usually makes things easier for
6 a manufacturer because now we basically said we are
7 confident that you can do the type of testing and produce
8 the results that are going to show that the product complies
9 with our requirements, or in the case of energy efficiency
10 requirements set by a government regulatory body.

11 At that point we enroll these manufacturers in our
12 DAP program, they will get audited every couple of years to
13 make sure that they are continuing to comply with the
14 requirements that we have said they need to, same as UL with
15 its own accreditation bodies. When an accreditor comes to a
16 UL lab he is performing basically the same thing, a little
17 more strict because it's actually a formal accreditation.
18 But they are holding us accountable for our compliance with
19 our labs to ISO 17025. So in this case here we can have a
20 manufacturer's product tested in either location, it can be
21 in a UL lab or if the circumstances allow it could be in a
22 manufacturer's lab. And then we would review their data
23 when the submit a product to us for certification.

24 Okay, Ken, I think that was actually my wrap-up. So
25 I guess questions will come at the end per Mike's

1 instructions. But I wanted to again thank everyone for
2 allowing me the time here and the CEC to allow me some time
3 here to just explain a little bit about what UL does in the
4 world of certification and, in particular, energy
5 efficiency. Thanks very much, Ken.

6 MR. RIDER: Thank you, Andrew.

7 So I think we are going to go on and move on to my
8 presentation. Bear with me, I've never had to hold a mic
9 and give a presentation at the same time. So if I get too
10 quiet, shout at me or something. I'm going to be presenting
11 the changes to the express terms that were noticed and a few
12 others.

13 So, a brief history of how we got to where we are
14 today. The proposal started out in a IOU CASE study. CASE
15 stands for Codes and Standards Enhancement. That was back
16 on October 11, 2010. And the staff released a report and
17 kind of took the CASE study and put it in Title 20 language.
18 That was released February 22nd and we had a workshop on
19 that on March 3rd. And since then we have had a number of
20 phone calls, meetings with stakeholders to work on issues
21 that they have brought up in comment letters and in
22 workshops to try to see if we could come up with language
23 that can address the issues and still get the energy savings
24 that we are interested in. And the most recent proposal was
25 released on May 10th and that is what we will be talking

1 about today.

2 So first I would like to talk about the changes to
3 the scope. The proposed regulations removed battery
4 analyzers from the scope. That's because we felt that
5 battery analyzers weren't used repeatedly to recharge the
6 same battery, it's really to condition a battery one time or
7 to test a battery. So we removed those from the scope. We
8 removed illuminated exit signs but we are still keeping
9 other emergency lighting other than illuminated exit signs.
10 We have removed high input voltage products. That means
11 products that would be hooked into like transmission lines
12 or something other than a typical wall plug like 115 volts
13 at 60 Hertz, because we didn't have a good grip on what
14 those products were or what the feasibility of the standards
15 was for those products.

16 We are also proposing - this isn't in the proposed
17 regulations we released on the web, but after some
18 discussions with industry we found out that electric
19 toothbrushes were considered medical devices under the FDA
20 and we have an exemption for FDA-approved medical devices.
21 So to handle that we propose to exempt Class II and Class
22 III medical devices and not Class I. And the distinction
23 there is - and I pulled this definition directly from the
24 FDA regulations - is a Class I medical device is one that is
25 not life-supporting or life-sustaining or for a use which is

1 of substantial importance in preventing impairment of human
2 health. So basically these are battery chargers that aren't
3 going to result in death or...(unintelligible - wireless
4 microphone is very noisy).

5 We have also added a few definitions. Basically
6 when we say we are taking battery analyzers out of the scope
7 we need to define what a battery analyzer is. And we have
8 added definitions of terms throughout the standards just to
9 add clarity so people can understand exactly what we are
10 talking about.

11 There were several changes to the test procedure.
12 The first thing I want to talk about is actually not a
13 change that we made in the proposed regulations but one that
14 we will certainly talk about today and I wanted to have as a
15 topic of feedbacks. And that is, there is an issue -
16 basically, battery chargers are many times just one part of
17 a product and products can be a battery charger in a
18 (unintelligible) and they are together. And we are covering
19 that under the battery charger rulemaking. An issue that
20 has been brought up in comments is, well, how do we get to
21 the battery charger efficiency when there are additional
22 features? And the test procedure already partially
23 addresses this. It says that you should turn off all
24 features other than the battery if they aren't related to
25 battery charging during testing.

1 But the industry has claimed that there are some
2 features which it just doesn't make sense to have a switch
3 for, for the consumer. And so part of what we want to talk
4 about today is what are those features and should we address
5 that by adding allowances, should we address it by altering
6 the test procedure, or should we just continue on with the
7 regulations as they are?

8 We have also altered the test procedure for large
9 battery chargers. The original proposal had the large
10 battery chargers tested several times under many different
11 conditions. We felt that it made sense to just test the
12 battery chargers in the worst case scenario and therefore if
13 the charger met it in the worst case scenario it would meet
14 it in all the remaining scenarios. And we did this
15 primarily to reduce testing cost. We have also added
16 updates to the safety language. The test procedure already
17 includes a lot of good language on safety circuitry related
18 to the charging of the battery. We have added a little bit
19 of language discussing safety related to the discharge of
20 the battery. Some products have safety circuitry for when
21 you discharge the battery and we wanted to make sure that
22 wasn't removed during testing.

23 One thing that manufacturers brought up is that the
24 battery charger test procedure contains specific battery
25 voltages by battery chemistry. And industry brought up that

1 there are specialized batteries that have alternate battery
2 voltages than the specified voltages. So the new proposal
3 allows manufacturers to test batteries with the rated
4 voltage of the battery manufacturer. So lithium ion might
5 be 0.7 volts per cell, maybe there is one out there that is
6 0.9 volts per cell. And if that's the way it is, that's how
7 it should be tested.

8 And we also added a requirement so that single phase
9 battery chargers only need to be tested at 115 volts at 60
10 Hertz. The proposed battery charger test procedure is
11 intended to be an international test procedure and therefore
12 it has provisions to test to European transmission. We
13 didn't feel that was necessary for testing in the United
14 States. So to reduce test burden we are specifying that you
15 only need test a single phase battery charger to the
16 transmission of California and the United States.

17 We have also specified that single port battery
18 chargers are required currently under the test procedure to
19 test with associated batteries that are the highest capacity
20 and the lowest capacity. However, reporting to the Energy
21 Commission we are only going to want a single number
22 reported. So we are proposing to report the highest
23 maintenance, no battery, and 24-hour charge energy from
24 those two tests.

25 We have changed the approach to multi-port chargers

1 fairly significantly. The test procedure has the multi-port
2 chargers tested three times. We are proposing that it
3 change that to one test with batteries in each of the ports.
4 So if you have a four-port charger you would test it with
5 all four ports filled with a battery. In addition, we have
6 changed the approach of the regulations for multi-port
7 chargers by treating them as a series of single-port
8 chargers with increased power and energy allowances that are
9 proportional to the number of ports. So a four-port charger
10 is treated similar to four single-port chargers.

11 In addition, we have made some slight changes to the
12 inductive charger proposal. It's the same in spirit as it
13 was before. The concept is that an inductive charger never
14 draws more than 1 watt in charge on average in charge
15 maintenance and no battery mode. I also would like to point
16 out that industry - well, industry has pointed out to me as
17 well, as you see here this 24 watt-hours. The concept we
18 put in the proposed regulations is that an inductive charger
19 during the 24-hour test must use 24 watt-hours or less. And
20 that is 1 watt over 24 hours, it's pretty straightforward.
21 But industry has pointed out that sometimes it can take over
22 24 hours to charge an inductive charger. So we have
23 proposed to change this so it is 1 watt per number of hours
24 of the test.

25 Large charger standards, we have dropped Tier 1 of

1 the large charger standards. The concept now is that you
2 have an additional year of not being regulated but then we
3 go straight to Tier 2. So we don't lose any time getting to
4 the Tier 2 savings but we drop the Tier 1. And in addition
5 we have reduced the power factor requirements for large
6 charger standards to 0.9 from 0.95.

7 Also with large charger standards, we altered the
8 maintenance mode power to 20 watts from 10 watts in the
9 released proposed language. We are also considering a
10 scaling factor similar to what we have done with small
11 battery chargers that would give a maintenance mode that is
12 proportional to the size of the battery. And the equation
13 we are thinking about is $10 + 0.0012$ times the capacity of
14 the battery. And the basis for that is we are replacing 2.5
15 percent of the battery energy at about 85 percent
16 efficiency.

17 We have also altered the small charger standards.
18 We have dropped power factor requirements altogether for
19 small battery chargers. This harmonizes with the DOE
20 because they are not considering power factor requirements.
21 And therefore we won't have a requirement for the CEC that
22 will then disappear when the DOE does their battery charger
23 rulemaking and finalizes that. We added the scaling factor
24 that we discussed in the March 3rd workshop. We proposed it
25 then but it wasn't in the language and now we have added it

1 into the language.

2 We have also combined the maintenance mode and no-
3 battery mode power requirements. And what this does is it
4 allows for tradeoffs between the two. So before you had a
5 fixed no-battery target of 0.3 and a fixed maintenance mode
6 power requirement of 0.5. Now it's an overall target of the
7 two added together. So that gives manufacturers design
8 flexibility. If they are close on one end and a little bit
9 better on the other they will comply and they can tradeoff
10 between the two. It also better aligns with the DOE's
11 single metric proposal. We are going from four metrics down
12 to two metrics.

13 The new proposal also extends the compliance date
14 for non-consumer battery chargers by one year. So instead
15 of July 1, 2012 it would be July 1, 2013. And this is
16 primarily because we felt that non-consumer battery chargers
17 have longer design cycles, they are extremely specialized
18 and they are low volume and we felt that those things
19 justified the extension.

20 We have also proposed new 24-hour efficiency
21 equations for larger battery capacities. These are things
22 like golf carts. What this does is it improves the
23 discontinuity between the large and small chargers. The
24 former proposal had a jump in efficiency as it moved from a
25 golf cart to a forklift. This kind of smoothes out that

1 boundary. In addition, when we looked at the DOE TSD we
2 found that our regulation for small chargers of the golf
3 cart size was worse than their baseline analysis. And so we
4 have moved it. So now it is better aligned with the DOE
5 analysis. We have proposed something that is between their
6 "improved" golf cart and their "best in market" golf cart.
7 In addition, I would like to bring up that the industry is
8 interested in pursuing, like we are proposing here for large
9 chargers, perhaps a slightly different approach to very,
10 very small chargers. So we might consider something at the
11 other end of the fringe of regulations as well for 24-hour
12 energy charge.

13 A pretty significant change is that we are now
14 proposing to require certification. We weren't in the past.
15 We stated in the last workshop that we were not going to
16 require certification. So this is typical of the majority
17 of products that we regulate, we require certification,
18 which is essentially just sending in the test result data
19 that you have gathered when you test your products to
20 confirm compliance.

21 We have also added special certification rules for
22 large battery chargers. That is because the large battery
23 test procedure is significantly more complex than the small
24 battery charger test procedure. And to avoid some of the
25 initial burden of testing a large number of existing

1 products to this very complex test procedure we are going to
2 allow group certifications for large battery chargers for a
3 short period of time. And then in the future for new
4 products, they will need to be individually tested and
5 certified. And the determination of a group, the language
6 we released that groups were based on battery capacity, we
7 are also considering basing that on technology such as SCR,
8 high frequency charger and the maximum rated voltage of the
9 large charger.

10 We have also made small changes to the labeling
11 requirements. Here is an example, the circled BC is what we
12 are applying at the moment. We are also considering the use
13 of an additional I, II, III or IV mark that will follow that
14 BC and that would indicate some predetermined level. And I
15 believe the NRDC will speak on that later. And we also in
16 our discussions with industry decided to allow labels on
17 packaging for products with very small nameplates where the
18 circled BC would be hard to fit. And so instead of putting
19 it on the products, you would put it on the product
20 packaging.

21 So I wanted to briefly go over the comment process.
22 Comments are due May 31st, the last day of this month. You
23 need to send both a hard copy to the dockets and a digital
24 copy. And this is the address for the docket and this is
25 the email for the docket. You should include the docket

1 number, which is 09-AAER-2. And it also helps if you cc:
2 either myself or Harinder. And my email is at the beginning
3 of this presentation. It just helps it get onto our website
4 faster. We will be sharing all the comments that we get in
5 the docket online. And so if you cc: us we can make sure
6 that gets up there as soon as possible. And that concludes
7 my presentation.

8 COMMISSIONER DOUGLAS: While we are holding
9 questions until lunch, I guess I just wanted to ask one
10 question. You have talked, Ken, about how these changes
11 more nearly align what we would be proposing with the DOE
12 proposals that we are expecting to see in some period of
13 time. I wanted to ask if you have any more information that
14 you can share with the stakeholders about where DOE is in
15 its process and its timing.

16 MR. RIDER: Well, sure. The DOE has not released
17 any formal proposed rule. They released their preliminary
18 analysis. They were scheduled to release that proposed
19 language a few months ago. They are obviously delayed and we
20 will probably see that in the future, in a few months. But
21 as of now it's kind of an unknown.

22 MR. BECK: Commissioner, this is Dennis Beck from
23 the Chief Counsel's Office of the Energy Commission. I can
24 just give you some more information about the DOE process
25 and how that is kind of fit into what we are doing here.

1 When we were here in March for the last workshop I think
2 there were a number of stakeholders who were under the
3 impression that DOE would be meeting its statutory deadline
4 to issue a final rule for standards for battery chargers and
5 external power supplies by July 1, 2011. We anticipated
6 that the final rule of the test procedure for battery
7 chargers would come out in a short period of time the notice
8 of proposed rulemaking would be issued shortly thereafter.
9 Of course, now it is May 19th and DOE has not issued the
10 final rule for the test procedure, which we understand would
11 precede the issuing of the NOPR for the standard. And
12 obviously they have not issued the NOPR.

13 By statute DOE is required to give commenters a 60-
14 day period after the publication of the NOPR in the *Federal*
15 *Register* before they can take action. And then further
16 there is a statutory requirement that DOE have a 90-day
17 period in between the time that the NOPR is published in the
18 *Federal Register* - that the final rule is published in the
19 *Federal Register*, I should say. So at this point we believe
20 that it's legally impossible for DOE to meet its July 1,
21 2011 deadline for issuing a final rule on battery chargers.
22 We have some indication that the docket in the test
23 procedure rulemaking is going to remain open perhaps to the
24 end of this month, which means that the test procedure final
25 rule would not even come out until June.

1 So I think people were under the understanding that
2 DOE would be issuing something in July with a federal
3 standard for consumer products becoming effective sometime
4 perhaps in the middle of 2013. So now that we know that DOE
5 is substantially delayed in their process, the window of
6 opportunity for, one, a California consumer standard for
7 battery chargers would have a longer shelf life and
8 therefore accrue greater benefits to energy savings and
9 monetary savings to Californians; but it also puts us in a
10 unique opportunity to be able to influence the DOE rule if
11 we are able to publish language in advance even of the
12 publication of the NOPR and certainly before a final rule is
13 published.

14 So it becomes increasingly unlikely as the months go
15 along that DOE would have their effective date of their
16 standard for battery chargers would be 2013, I think it
17 probably would be pushed back to 2014 or even 2015.

18 COMMISSIONER DOUGLAS: Thank you, Dennis and Ken.
19 All stakeholders who have views or opinions or insight into
20 this will have an opportunity to speak to it as well as we
21 go through the day.

22 MR. RIDER: So I believe the next presentation is
23 Suzanne. And you can try to use this mic here or you can
24 use the one at the podium and I can run your slides, however
25 you prefer to do it.

1 MS. PORTER: I will come up there.

2 MR. RIDER: Okay.

3 MR. LEAON: And if I can just interject at this
4 point. We do have a request from Motorola for a
5 presentation. Do we have a representative from Motorola?

6 (Positive response.)

7 Okay. At your direction, Commissioner, whether we
8 do that after Suzanne's presentation or after lunch.

9 COMMISSIONER DOUGLAS: Well, I see that we have
10 scheduled a twelve o'clock lunch break. So if there is time
11 to fit Motorola's presentation in before lunch that would be
12 better, that would keep us on track. But we will see.
13 Since we are not taking questions I bet we will be able to
14 do that.

15 MS. PORTER: Hello. I am Suzanne Foster Porter. I
16 am with ECOS Consulting and I am a technical consultant to
17 the IOU statewide team on codes and standards. And I am
18 here to share some issues that we wanted to raise in
19 response to the draft express terms that were released this
20 month for battery charger systems.

21 Before I do that I'm going to just share a little
22 bit of background about battery chargers in general. These
23 are slides that are already on the docket and some of you
24 have here have seen them before. They are not in the
25 handouts that you will have in front of you, but those are

1 just the first few slides and then all the issues slides are
2 documented in the handouts you have. And I will work with
3 the CEC to get this typed version of the presentation posted
4 publicly shortly after the workshop.

5 I wanted to acknowledge a number of institutions
6 that have helped to support this research for standards. It
7 doesn't only include the recent work to prepare the CASE
8 report but also includes work that was funded by the
9 California Energy Commission PIER Program, various labs
10 including Southern California Edison and Applied Technology
11 Services group at PG&E have submitted data and participated
12 in the technical research, and EPRI prepared a lot of the
13 technical foundation on which this was based. So there is a
14 lot of fine work that has been done and I want to make sure
15 that all of these folks get credit.

16 Battery chargers range very widely in battery size
17 but they all have exactly the same function. They are
18 designed to take wall current, wall alternating current that
19 is provided to us by the utilities, to convert that into
20 chemically stored energy in the battery for use when a
21 product is not connected to the grid. So that can be a
22 portable use like we have for laptop computers and portable
23 power tools and toothbrushes. It can also be stationary
24 uses that meant for emergency backup power like the under-
25 desktop uninterruptible power supplies that meant for

1 desktop computers.

2 All of them have three primary elements: a power
3 supply that converts alternating current to direct current
4 needed to charge the battery, some element of charge control
5 and regulation which ensures that the battery is charged
6 appropriately, and a battery that stores energy. We have
7 been talking about the modes and Ken referred to a number of
8 modes during his presentation. This is an illustration of
9 the three primary modes of a battery charger: active mode
10 or charge mode when the product is getting the bulk amount
11 of charge into the battery, the maintenance mode which is
12 meant to trickle charge those chemistries which are
13 appropriate to be trickle-charged because we need to
14 counteract self-discharge in order to maintain full
15 capacity, and then no-battery mode which is essentially a
16 standby mode - and DOE calls this a standby mode - for this
17 product. It's the battery removed from the product and all
18 the function is turned off to represent the lowest possible
19 power mode of the product.

20 There are two categories of products with different
21 test procedures, different metrics and standards being
22 considered here. There are the small battery chargers.
23 These are both consumer and there are some non-consumer
24 small battery chargers. Some examples include laptops, cell
25 phones, power tools. The dominant charger technologies are

1 linear and switch mode. And the key efficiency metrics in
2 the current draft express terms are two, the 24-hour
3 efficiency and a low power mode metric. These products are
4 very large in number in use in the state and they use quite
5 a bit of energy. But each one uses a very small amount. So
6 the savings that we get is by saving small amounts of energy
7 for every product, many products that are installed.

8 For large battery chargers the primary product type
9 we talk about is forklifts but there are also electric
10 mining cars, mobile baggage that run on battery power. A
11 slightly different technology is used for chargers, silicon-
12 controlled rectifier, high frequency is also an emerging
13 technology. And the key active mode metrics are a little
14 bit different and more complicated. There are actually five
15 metrics but the two that represent charge mode are power
16 conversion efficiency and charge return factor. And the
17 stock of these products is significantly lower than the
18 small chargers. These are products that each use a
19 significant amount of energy and we are going to save a
20 small amount of that significant amount of energy. So the
21 total usage is about the same but you see the savings is
22 quite different.

23 Battery chargers are a key phase to a strategy to
24 address plug load energy use. The Energy Commission led the
25 world when it adopted the external power supply mandatory

1 standard. The philosophy in policy approach for improving
2 the efficiency of the external power supplies was to try to
3 address the energy use of hundreds of thousands of products
4 in California that are difficult to regulate individually on
5 their own because there are many of them and they are very
6 diverse. And so we improved the efficiency of one building
7 block of that system, which was the process of converting
8 alternating current into low volt direct current needed to
9 run many of the electronics products today. That has
10 successfully turned into an international initiative and we
11 have now a federal standard that was put into place by EISA
12 2007 that made the standards the same as California's.

13 Battery chargers are the second phase of the
14 component strategy. Some battery chargers do use external
15 power supplies but there are many battery chargers that have
16 internal power supplies that haven't been addressed by any
17 strategy, represented by this lower quadrant. In addition,
18 having a more efficient power supply improves the efficiency
19 of the battery charger. So for this region of products,
20 these have already gotten a great first step to moving
21 toward a very efficient battery charger system. The
22 products represented down by the orange circle are not ones
23 we are talking about today but they are larger internal
24 power supply products like desktop computers, TVs and so
25 forth that do make sense to address individually.

1 I would like to take the rest of the presentation to
2 run through the issues that we wanted to raise related to
3 this, some of the comments and concerns that have been
4 raised by other stakeholders, as well as the express terms
5 that were released this month.

6 First, I would like to address some concerns that
7 were raised by manufacturers around the concept design that
8 the IOUs put forth in the last workshop. There were some
9 questions about BOM design and other things and I would like
10 to just address those here to provide clarity. As a
11 reminder, we did two detailed studies of low cost consumer
12 products to demonstrate the cost effectiveness for one
13 possible solution path to improving the efficiency of these
14 low cost devices. There was the NiCd power tool as well as
15 a nickel metal hydride beard trimmer. Many of the comments
16 focused on the power tools so I will focus in on that for
17 the purposes of this discussion today.

18 As a recap, this is a slide from March. We
19 evaluated the product as shipped and the black is the levels
20 that are proposed by the Codes and Standards Enhancement
21 report. And then bottom row is how the product performed as
22 shipped. We then made a number of changes to the product,
23 including developing new charge control circuitry, which
24 basically looked at the voltage of the battery and then
25 depending on the voltage of the battery would put more

1 current to fill up essentially that battery gas tank and
2 then shut off the current when the battery was full and
3 trickle charge it instead. In addition, we placed a
4 slightly higher efficiency power supply on the product and
5 as a result were able to achieve the CASE-proposed levels or
6 exceed the CASE-proposed levels with the green row that you
7 see represented by the third row down there. And this is,
8 again, a reprint of the slide from March.

9 There are questions that the concept design reduced
10 the utility to the consumer. I just wanted to re-emphasize
11 that the concept design that was created when we did the
12 redesign enabled all the features of the product as shipped,
13 including the charge LED. The charge control actually
14 enabled a slightly faster charge time. We didn't
15 significantly change the function. It was about 20 percent
16 faster because we were able to increase the speed of the
17 charge a little bit at the beginning because of the
18 controls. More precise and expensive components are were
19 required for the design than what were in the product as
20 shipped. Many of these components and ICs are currently
21 shipped in high tech consumer products and have been for
22 many years and they are possible for appliance battery
23 chargers as well. And the test that we performed of the
24 concept design reliably returned full capacity to the
25 battery even after it was subjected to a number of tests.

1 So we tested the battery and ensured that the battery was
2 fully charged when we used the circuit to charge.

3 There were some questions about our incremental bill
4 of materials cost so the methodology that we used was to add
5 up all the costs of the various components and the board
6 that was used, the new board that was needed in the concept
7 design, and then apply mark-ups from the US Department of
8 Energy preliminary analysis to estimate the total
9 incremental cost to the consumer. It included all of the
10 elements, we didn't omit any elements, and we used cost that
11 was cost of the external power supply that came directly
12 from DOE's preliminary analysis, which is the most recent
13 public data available on incremental costs for external
14 power supplies. We compounded the mark-ups just like DOE's
15 analysis does. And we did not include power factor. There
16 was a question, Did we include power factor correction in
17 the bill of materials cost? We did not. This product is so
18 low power that power factor correction has not been required
19 under any proposal.

20 Something I would like to emphasize is that this
21 concept design is just that. It is not a turnkey solution
22 for every batter charger but it can be adjusted to
23 accommodate market needs. One concern that was raised or
24 question was, What if you are operating in a variable
25 temperature condition? This particular solution would not

1 enable a full charge under very high temperature or low
2 temperature conditions. It is easy to incorporate a thermal
3 - I should say you can incorporate a thermal compensation
4 network to enable that to happen. And the incremental BOM
5 is about five cents. That would increase the total BOM to
6 about a \$1.30 with a payback of about 0.6 years. So because
7 the cost to benefit ratio for this teardown is 10 to 1 there
8 are a number of additional costs that can be implemented,
9 tweaked, to really customize the design. And we are not
10 trying to find every solution, we're just trying represent
11 kind of a base solution that is one pathway to possible
12 components.

13 There are a number of off-the-shelf" silicon
14 solutions available for efficient management of nickel. So
15 we used components where there wasn't one turnkey circuit
16 that is all under one component. But those are available
17 from a variety of manufacturers using a variety of methods
18 to control the charge. We used a comparator-type circuit,
19 as shown in the far left slide here. There are also
20 negative changes in voltage, there are timers and so forth.
21 So there are many methodologies that can be used to control
22 charge. This is just one in the concept design.

23 The IOUs would like to encourage the Energy
24 Commission to consider more stringent levels for both
25 battery maintenance and no-battery mode as well as power

1 factor. I would like to walk through that recommendation
2 next. The CEC staff proposal for the combination of no-
3 battery mode and battery maintenance mode is shown here in
4 blue. As a recap, the proposal that the IOUs originally put
5 forward set two separate limits for battery maintenance and
6 no-battery mode at 0.5 watts and 0.3 watts, respectively.
7 The staff suggested that we combine those two in a sum and
8 then compare it to this blue line that is shown here. We
9 have plotted the data from the PG&E data set relative to
10 this level and believe that there are greater opportunities
11 to capture energy savings by lowering the proposal slightly
12 to the red line, which is a slightly different equation than
13 what is currently proposed in the express terms. It's worth
14 about 20 to 50 gigawatt hours per year, which is equivalent
15 to 3000 to 8000 household electricity use. So it's a pretty
16 significant difference. And 44 percent of the products can
17 meet this red line. So it's not particularly aggressive but
18 it does get Californians more energy savings from these
19 modes of operation.

20 Secondly, we would like to urge the Commission to
21 reconsider active power factor correction requirements for
22 small battery chargers. Specifically, we have done modeling
23 that suggests that the incremental BOM cost is significantly
24 lower than the energy savings we get associated with - I
25 should say not the incremental BOM but the incremental BOM

1 plus markup is significantly lower than energy savings that
2 we get associated with reducing the losses in wiring of
3 buildings associated with more power factor. These are
4 examples of four products that may be included in a greater
5 than 100 watt active power factor correction proposal. And
6 the payback times are relatively short and we do get some
7 additional energy savings. So we encourage the Commission
8 to retain power factor requirement as 0.9 or greater for
9 products that are greater than 100 watts. This would be in
10 alignment with the European Union's own power factor
11 requirement and it's the equivalent of 20 to 60 gigawatt
12 hours of savings, which again could be as high as nearly
13 10,000 homes.

14 I would also like to emphasize that there are
15 silicon power factor correction solutions available from
16 many vendors. Power factor correction has been an important
17 component in Europe for a long time, recognizing the energy
18 savings opportunity that is there. And so the market is
19 ready for California to take a similar approach to battery
20 chargers.

21 Next I would like to walk through some test
22 procedure issues. There have been a number of manufacturers
23 who submitted comments requesting physical alterations to
24 products in order to perform the test procedure. We
25 strongly suggest that the Energy Commission not proceed

1 along this path and would like to share some of our thoughts
2 related to that. Specifically, when the test procedure was
3 developed and adopted in 2008 there were three key
4 guidelines that are sort of universal to test procedure
5 development in general but are applicable in this case. As
6 UL mentioned before, the test procedure, product and readily
7 available manufacturer instructions, it is important that
8 those are the only three things that are needed to perform a
9 test procedure. And that is because if we are looking at
10 compliance and going out to pull products off the shelves
11 and test them for compliance, whether it's UL or the CEC or
12 another manufacturer, we need to be able to do that without
13 extra information that would need to be provided by the
14 manufacturer. So we carefully crafted the test procedure to
15 enable us to do that.

16 The second important guiding principle is that the
17 test should mimic as closely as possible the actual use of
18 the product in the field, balancing that, of course, with
19 test burden. So we have to keep in mind we can't have a
20 product test procedure that is excessively long or
21 excessively burdensome. But to the extent possible we would
22 like it to be as close as possible to the way California
23 ratepayers actually will use the products in their homes and
24 offices and industrial buildings.

25 Lastly, the test has to capture the accurate energy

1 use of all modes. So that includes active mode but it also
2 includes maintenance mode and no-battery mode in the way
3 that we would see it in a home or an office building.
4 Making physical alterations to the product would jeopardize
5 these three principles in total. And I would like a little
6 bit about each.

7 As I mentioned before, making physical alterations
8 to the product under test would make it very difficult for
9 independent laboratories such as UL and other political
10 bodies like the US Department of Energy, the US EPA Energy
11 Star Program, to ensure that they are all taking the same
12 approach to the test procedure. It's difficult to specify
13 what circuits should be cut, what function should be removed
14 in a general way. It's possibly even impossible to ensure
15 that you're changing all of the same things with every test,
16 making repeatability very challenging. The test procedure
17 really should ensure that we are capturing the energy use of
18 products as consumers and other ratepayers in California are
19 going to see that energy use on their electricity bill. So
20 that's a big concern if we start removing fixed losses that
21 are part of these products.

22 About ten percent of the PG&E data set represents
23 products that are significantly higher in their low power
24 modes than other products. So here you can see I've
25 highlighted in red some outlier examples of the combination

1 of battery maintenance and no-battery modes as high as 9
2 watts in each mode, 10 watts in each mode. And a lot of
3 this is because of extra functions that are not power
4 scaling down to scale their power functionality that they
5 are providing the consumer. We think that if the test
6 procedure is changed to allow changes to the product it
7 could be as large as 300 gigawatt hours per year loss in
8 savings. We think this could be higher as products move to
9 more and more integration. This is the equivalent
10 electricity use of 45,000 California homes.

11 Just to give you a kind of a tangible example of a
12 product that represents one of those outliers, this is a
13 power tool with an entertainment center. It has the ability
14 to listen to music as well as charge the battery. We tested
15 this product and it has 9 watts in no-battery power and 9
16 watts in maintenance power with the radio off, the screen
17 off, all functions turned off. When this product is turned
18 off and there is no value or function being provided to the
19 consumer by the entertainment center the product continues
20 to use 9 watts. And the energy use of this product would
21 not change dramatically if the Energy Commission chooses to
22 allow physical changes and alterations to the product.
23 Because this type of essentially standby mode power would be
24 - would enable to persist. And this is only one of a dozen
25 examples of poor power scaling that we have seen in consumer

1 products.

2 Manufacturers have also raised concerns about
3 indication of charge and fans associated with battery
4 charging. Cooling fans and indicators, whether they are
5 audio indicators - you know, beeps telling you that the
6 charge is full - or light indicators are part of the
7 charging function. They are not extraneous. They don't use
8 significant amounts of energy. LEDs have gotten
9 significantly more efficient year over year. Their
10 brightnesses are increasing as their power is going down.
11 LEDs for very bright ambient conditions that would probably
12 be appropriate for indication are 10 to 60 milliwatts per
13 LED. Which means tens of LEDs can be incorporated into
14 devices to indicate charge, which is a significant number
15 and probably more than most designers would prefer. In
16 addition, audio indications do not persist for the entire
17 length of a normal charge cycle under the test procedure.
18 And so the audio is not continuous and therefore shouldn't
19 represent significant energy use. It's just a short
20 indication for battery status conditions.

21 We have observed in our data set some battery
22 chargers that operate continuous fans regardless of whether
23 or not there is a battery installed or if the battery is
24 fully charged or partially charged. These fans can instead
25 - their operation can be controlled with a timer or a

1 thermostat relative to the charging cycle so that the
2 batteries can be properly cooled when needed but it's not
3 running continuously regardless of the function needed for
4 cooling batteries.

5 Next I would like to address timing. The CEC staff
6 have made significant efforts to increase the flexibility
7 for manufacturers for the standard, including combining
8 battery maintenance and no-battery mode into one function
9 and reducing the scope associated with power factor. And
10 this is even more flexibility than what we saw in the
11 proposal in the March workshop. So I think it even makes
12 the 12 month compliance timeframe an easier goal to achieve.
13 Our research suggests that the March proposal was achievable
14 through the 12 month timeframe as well but this is even
15 making it more achievable.

16 There are many improvements to battery chargers that
17 can be made that affect both metrics. This includes
18 improving the efficiency of the power supply as well as
19 charge control affects both battery maintenance and the 24-
20 hour efficiency metrics. So in some ways there are some
21 elements that make compliance easier to achieve because you
22 can make one improvement that affects both metrics.

23 The other thing I would like to emphasize is the
24 kind of changes that we are suggesting be made do not
25 require significant change to the size of the circuit board.

1 So one of the elements that can increase the length of time
2 associated with redesign is that molding and housings have
3 to be redone. Our research suggests that these are simply
4 not the case. These control ICs that are needed to help
5 with charge control are very, very small. They can fit on
6 existing circuit boards. This is an example of the power
7 tool that we did the teardown of earlier this year. And
8 these components shown outlined in red would no longer be
9 needed under the new design. And you can see that the type
10 of circuit board that would be needed easily fits within
11 that space.

12 There are many products for which similar circuit
13 boards across a number of models already exist. Here is an
14 example of two beard trimmers - this is a slide that we did
15 show in March as well. The top is a NiMH battery, has a
16 simple resistor charge control element. And then the bottom
17 one has a lithium ion battery. It has a different form
18 factor on the outside but on the inside the circuit board is
19 exactly the same, the mounting is exactly the same, and the
20 types of components and controls that could be needed here
21 could easily fit here. In fact, they do on the same size
22 just with a slightly different model. So these off-the-
23 shelf packages allow the silicon-based charge control to fit
24 in the existing printed circuit board space. And you can
25 see, just for illustration on the bottom here, two of the

1 ICs relative to a US dime.

2 Consumer products are regularly redesigned to
3 encourage consumer upgrades over time and new models help
4 distinguish products in the market. These types of changes
5 could be incorporated into a redesign cycle. As I mentioned
6 before, changed to product molding are not required. And
7 the markup on the extra components that we have employed in
8 the analysis, which is approximately two times - but DOE
9 even suggests that could be lower depending upon the type of
10 product and so forth - covers the additional costs
11 associated with doing the redesign. Full safety testing is
12 not required if we are making small changes. And turnaround
13 is weeks to a couple of months. And the cost is fairly low.

14 One other issue I would like to address is the CEC
15 has proposed - moving on to the non-consumer products and
16 away from the test procedure - the CEC has proposed to delay
17 all non-consumer chargers for 24 months instead of 12. We
18 wanted to encourage you to consider keeping non-consumer
19 chargers that are other than mission critical chargers
20 within the 12 month timeframe. Mission critical chargers
21 are carried by public emergency personnel and we want to
22 ensure that the state of the safety and the security systems
23 of the State of California are protected. And therefore the
24 24 month compliance timeframe is justified for these
25 products.

1 For all other non-consumer products which don't have
2 the same emergency and safety issues, we strongly encourage
3 the Commission to consider adopting one year earlier. The
4 energy savings for the adoption 12 months earlier is the
5 equivalent of 110 gigawatt hours in total. So that's a life
6 cycle savings, not an annual savings. But it's the
7 equivalent of 20,000 California homes in terms of
8 electricity savings.

9 We would like to suggest two changes to the express
10 terms for the large chargers. Number one, the staff has
11 made a first step to moving toward large battery charger
12 selection. We have a slightly different suggestion that we
13 will detail in our written comments. We suggest that it
14 focus on the charge algorithm or the method of charge more
15 specifically rather than the number of models and still
16 balance the test burden. Secondly, we recommend that Tier 1
17 be retained for large chargers. This is 15 gigawatt hours
18 worth of life cycle savings for one year of sales, or 2000
19 California homes. So there is some savings opportunity
20 there that we would like the California Energy Commission to
21 consider.

22 In closing I would just like to set the stage for
23 what the opportunity is here. There are small and large
24 battery chargers. For small battery chargers we think we
25 can save a substantial amount of current use, somewhere

1 between 55 and 65 percent. I think the CEC's calculations
2 show 40 percent. But it's a substantial portion. For large
3 battery charger energy savings, it's more around 8 percent
4 of the total use. But this is the equivalent overall of
5 almost one power plant, or 1 Rosenfeld of energy use that we
6 can save by addressing the multitude of plug load products
7 that use battery charger systems. The cost to benefit ratio
8 for this measure is one to eight. And I want to emphasize
9 the importance of the consumer chargers in the context of
10 these savings.

11 There has been some discussion around whether
12 consumer chargers - there have been some challenges about
13 whether consumer chargers should be included with the DOE
14 rulemaking going forward. One year of sales associated with
15 consumer charges will deliver to the State of California
16 \$250 million, which is orders of magnitude greater than the
17 cost of the regulation.

18 Thank you for the opportunity to share our thoughts
19 and I look forward to responding to questions this
20 afternoon.

21 MR. LEAON: Okay, it's 11:30 now. So I would
22 suggest we go forward with Motorola's presentation. But
23 first let's take a five minute break.

24 (Short break.)

25 Okay, folks, if we can get settled let's go ahead

1 and resume the workshop with Motorola's presentation.

2 MR. PAUL: Good morning, everybody. My name is
3 Chris Paul. I am Director of Energy Products at Motorola
4 Solutions. Some of you may not know that Motorola recently
5 split into two companies. We are the business-industrial
6 side, Motorola Solutions. And as you can see on the slide
7 up there, we give a little bit of our curriculum vitae, some
8 of the products that we produce. I won't read them out loud
9 to you but we are generally involved in capturing critical
10 information and providing communications to our customers in
11 a number of venues. Ken, if you would move forward. Thank
12 you.

13 I would like to acknowledge and thank the Commission
14 for the opportunities they have been providing to us,
15 especially over the past month or two, and our discussions
16 in particular with Mr. Rider. I know that as a result we
17 understand a lot more about what the Commission is looking
18 for in terms of improving efficiency and what some of your
19 concerns are. And I believe also that we have had the
20 opportunity to better acquaint you with some of our concerns
21 about how we are going to actively meet these requirements
22 in a manner that improves battery efficiency and basically
23 helps the consumer in the best way we can.

24 So why am I here today, why am I up before you
25 making a presentation? Well, as alluded to earlier by the

1 presenter from ECOS, we have some concerns associated with a
2 number of other features in our products that go beyond
3 really battery charging. And you might ask the question,
4 Well, why do we do this? Isn't this wasteful of energy?
5 And from a general point of view it's actually quite the
6 opposite. Our customers demand these functions. The
7 question is, Are we going to provide it to them in a product
8 that integrates both sets of needs or are we going to give
9 them two separate products with two separate power supplies?
10 Which is going to draw more power off the grid than if we
11 gave them one combined feature. Now you might say, well,
12 the customers will simply turn off the certain features when
13 they don't need them. But the features that we provide are
14 features that customers will not be turning off, as we will
15 see as we go forward. So turning them off from a customers
16 point of view is really not an option.

17 So not only will this approach by combining chargers
18 and other functions provide greater energy efficiency
19 overall, we believe, but when it comes time to decommission
20 these products, as it inevitably will, and consign them
21 hopefully to a proper use of E-waste, there is going to be
22 less E-waste because we don't have two power supplies. And
23 we would hope that any regulation that goes forward
24 recognizes this fact and accommodates the energy saving
25 possibilities of combining functions into a single unit.

1 Next slide, please.

2 The current proposal, I'm certain that many folks
3 are familiar with here, does allow users to turn off unused
4 features. But this is a problem in many cases. Because, as
5 I said, many of the features the users will simply have no
6 reason to turn off. Providing the ability to turn them off,
7 especially for the user, adds cost because it adds switches.
8 And adding switches, we are going to have to put them
9 somewhere. We can't leave them hanging off the unit. We
10 are going to have to change the molding to mount the
11 switches in the products so that consumers can turn off
12 features that they are never going to want to turn off so
13 that we can meet the testing proposal.

14 What are some of these features that we provide?
15 Well, we listed indicators, for instance, LEDs. And
16 although I'm happy to say that we have no products at
17 present or in the planning that employ ten LEDs per port, we
18 do have some products that do use two indicators per port
19 and some that use one indicator per port. Because our
20 customers need to know when those batteries are charged,
21 when those batteries are ready for use, not when the entire
22 unit is ready.

23 ECOS provided an estimate of the amount of energy
24 consumed by LEDs in use. And I think they are dead on.
25 We're right in that range, toward the higher end of the

1 range but we are in that range. However, no consideration
2 in that proposal was given to the energy consumed by
3 delivering that energy to an LED. Now, let me give you a
4 very simple example of how that is done. When you are
5 powering an LED you need to make certain that you supply a
6 certain repeatable amount of current to that LED so that you
7 get an expected amount of illumination and that the LED will
8 operate reliably over its life. The cheapest thing to do -
9 and perhaps we're a bit focused too much on cheapness - is
10 to take an existing voltage supply that is already in your
11 unit, take your LED and add a resistor to it, connect it.
12 It regulates the current very nicely. Inefficient, I will
13 grant you. But this is the cheap way to do it. We have to
14 consider that there is dissipation across that resistor in
15 delivering power to the LED.

16 There is a more energy efficiency way of doing that
17 and that involves taking that supply that you've already got
18 and using something called switching power supply to take
19 the voltage down to a lower level so that you're not wasting
20 as much energy powering the LED. And that will improve your
21 efficiency but it will not completely get rid of the energy
22 to deliver the energy to the LED. And there is a cost
23 associated with it, too. None of these things have been
24 studied up until this point by us or anything I've seen
25 presented in front of the Commission. So knowledge of the

1 trade-offs involved is not clear at this point. More
2 studies would have to be done. So I urge us to consider
3 that all of the power required for LED has really not been
4 discussed or presented or investigated.

5 Now, communications functions, this is a biggie for
6 us. We provide industrial hand-held mobile computers, we
7 supply radios for emergency responders. These devices when
8 they are charging afford an excellent opportunity to
9 communicate directly with these devices with a computer
10 network in a building, for gathering information, loading
11 new information onto these things. And we make multiple use
12 of existing equipment. We are going to charge the battery,
13 let's use of that power, let's use some of that plastic,
14 let's use some of the electronics to perform some other
15 functions that our customers definitely are going to need.
16 Ethernet, one of the big communications things that we do in
17 our products is to promote and to support Ethernet links.
18 Now, many of you are probably familiar with Ethernet. It's
19 a technology that allows long haul high speed
20 communications. Buildings for businesses, buildings for
21 private companies are suffused with Ethernet networks
22 running all over. You've seen these cables, you've seen
23 these connectors yourself. And the power consumed by these
24 connections is rather significant, it can be into the range
25 of a watt or two under certain circumstances. There is a

1 wide range of Ethernet speeds, there are at least six or
2 seven and we supply a number of them. So the amount of
3 power consumed, of course, varies with the speed of the
4 Ethernet link required. These are demands that our
5 customers are making. If we were to divorce this equipment
6 from battery chargers we would have another set of equipment
7 sitting on the side with another power supply not regulated
8 by this regulation and we would be pulling more energy off
9 the grid.

10 Ethernet is not the only high speed communications
11 we use. Ethernet takes up a lot of space, eats a lot of
12 power, is not appropriate to build right into our hand-held
13 devices. So what do we do? We use USB, Universal Serial
14 Bus. You know, the memory sticks in your computers, the
15 mice that you plug in sometimes, that's the USB link. Now,
16 the advantage of USB is that it can match or come close to
17 Ethernet speeds but it's for short haul communication. So
18 it doesn't consume anywhere near as much power, it's
19 physically smaller.

20 So now we've got our hand-held devices with USB,
21 we've got our terminals and cradles with Ethernet, how do we
22 get them to talk to one another? We use Ethernet to USB
23 convertors, another piece of equipment consuming more power,
24 different speeds as before, difficult to determine exactly
25 how much energy is required here because of the variation in

1 speed. And then there are some cradles that we have that
2 don't use Ethernet at all. We will have a multi-port unit,
3 drop a bunch of terminals into that, put a USB hub inside
4 the cradle, bring a single USB port out, and with that we
5 are able to communicate to all the terminals at the same
6 time. Efficient use of resources in that sense, but a
7 different power requirement for different communications
8 requirements.

9 And then, believe it or not, we still are selling
10 dial-up modems. Now, there is no truth to the vicious rumor
11 that our customers are still using America Online to
12 communicate with them, but we still do make a number of
13 sales of these units every year. And they have different
14 power requirements from the Ethernet links and USB links.
15 And if we were to provide these features that our customers
16 ask for in physically separate units we would wind up
17 drawing more power than if we combine the functions and
18 features.

19 Fans. We have mentioned fans before. Many of our
20 units do employ temperature and thermal control switches,
21 not all I will admit. And that is an opportunity for
22 improvement. But these are part of the requirements that
23 some of our customers had. Our emergency responders demand
24 that their units be recharged as quickly as possible when
25 they come back to the station so that they are ready as soon

1 as can be. They demand that they are held in the highest
2 possible state of readiness so that they are there when they
3 need them. And the nickel technology that predominates in
4 these radios, for reasons that my colleague will explain
5 later, is a technology that creates heat during the charging
6 process. There is also a requirement to put large numbers
7 of these things in physically close proximities because
8 there is limited room in certain areas where our customers
9 have to store battery chargers. All of these things
10 together concentrates a tremendous amount of heat into a
11 certain area. And to deal with that the only solution is a
12 fan. This is not something that we choose. We would rather
13 not put fans in our units. But the demands of our customers
14 for our products require them.

15 There are other things that are up here that are
16 beyond what we are doing today. There are things that we
17 don't even know about in the future that will require
18 additional power, communications techniques, who knows? I'm
19 sure that many of my colleagues from industry here have
20 chargers that incorporate functions I haven't mentioned up
21 here. So there is a lot that is unknown. Can we go to the
22 next slide, Ken, please?

23 So how do we handle this? Well, one of the
24 proposals that we've heard is under consideration by the
25 Commission is to create a table or a matrix of non-charging

1 features and functions and to allocate a certain amount of
2 energy to each of them. And, well, this will meet the issue
3 of allowing energy consumption by non-charging functions.
4 But there are a lot of problems with this approach. First
5 of all, there is lot of research that will need to be done
6 to determine what is an appropriate amount of energy for
7 this kind of communication at that speed in this combination
8 with that feature. This research simply hasn't been done.
9 And with the time span that we have remaining to us before
10 the regulations are released, I don't believe we have the
11 time to put them together, to study them and have adequate
12 comment on them.

13 Not only that, but as was noted before in the ECOS
14 presentation, technology improves over time. We are going
15 to be able to deliver some of these same services at lower
16 powers in the future. So there would be a desire not only
17 to assemble this matrix to begin with but to maintain it as
18 new technologies come forward and as existing technologies
19 become more energy efficiency. And what new technologies
20 will be coming forward?

21 Finally, consider the situation when the new
22 technology springs up. There is going to be a need to
23 determine how much energy to allocate to it. Industry is
24 going to be concerned about taking advantage of that new
25 technology as quickly as possible. So we are going to have

1 two groups working and I can guarantee that what will happen
2 - because we are all only human - is that industry will know
3 about the new requirements not in time to include them into
4 the first release of products. So that will delay product
5 and feature introduction. So this approach overall we think
6 is impractical.

7 Now, there was a proposal put forward today earlier
8 by ECOS that we simply do nothing, that we do not disable
9 all of these power consumption features, we do not try to
10 account for them, we just live with them and they are part
11 of the charger function. Again, I think the main argument
12 against this approach is that you will force industry now to
13 make two products where you had one, two power supplies
14 where you had one. Because the features are not going to go
15 away. I don't know honestly about the cordless drill boom
16 box, if industry will now start creating entertainment
17 centers separately. But I do know for the features that we
18 at Motorola Solutions provide, these features are needed.
19 So if we are not allowed to accommodate these features we
20 will create two pieces of equipment with electronic waste
21 and two power supplies, which are going to pull more power
22 off. And right now we're not set up even to regulate the
23 functions we're going to split off.

24 Also it was mentioned that one reason for not making
25 changes was that there would be no instructions as to how to

1 make the changes, so that the test wouldn't be repeatable.
2 And I think that's a very valid concern. But one of the
3 things that's true now that wasn't true at the time that
4 those considerations were being made is that we are now
5 going through a certification process. We have to provide
6 test data, right? And in providing that test data we have
7 to be very clear about how we got it. We can provide
8 instructions, information, exactly what things are modified,
9 what are turned off, so that the test is repeatable. It is
10 in our interest to make those tests repeatable because you
11 will audit us some day and we want to make sure that you get
12 the same answer as we do. And now here is the database, the
13 central database that anyone who wants to do that audit can
14 go to to find out how to make the modifications that we made
15 so that battery charging alone can be measured. Ken, can
16 you please move on to the next slide? Thank you.

17 So that is really what we do propose here. We would
18 like to allow non-charging functions to be recognized and
19 disconnected as long as there is no alteration in safety
20 circuitry - that's a critical part of the charging process.
21 But we provide explicit documentation of all changes made
22 and what is being made so that it can be understood, the
23 test can be replicated and audits can be performed on what
24 we're doing. So how do we take advantage of this? Suppose
25 we are doing something that's, well, we made a modification

1 to the charger that affects the results. Well, here is the
2 assurance that we haven't done so. The test is conducted on
3 a modified unit and an unmodified unit. And the battery
4 discharge energies are compared in both cases. They should
5 be substantially the same. In that way we will demonstrate
6 that we have not modified the chargers.

7 So what are the advantages of this approach? Well,
8 energy consumption by non-charging functions is accounted
9 for, it's simple, it's easy to update as new technology
10 approaches, there is no reason to maintain and update
11 matrices of energy allocations, it's applicable to products
12 that Motorola Solutions knows nothing about today and that,
13 well, really no one here in this room knows anything about
14 today, it's adaptable. Now, it will require additional
15 money and additional documentation. But honestly, we think
16 this is the appropriate approach, how to proceed. It is the
17 correct way to minimize the total consumption of energy and
18 to reduce the total amount of E-waste. Thank you.

19 At this time I don't know if we have time at the
20 moment. There is a second half of this presentation that
21 would be presented by my colleague, Dan Jakl. Shall we
22 proceed or shall we halt until after lunch?

23 COMMISSIONER DOUGLAS: How long will it take?

24 MR. JAKL: Ten minutes.

25 COMMISSIONER DOUGLAS: Okay, let's continue with

1 that.

2 MR. PAUL: Okay, thank you for the opportunity to
3 speak today.

4 MR. JAKL: Okay, well almost good afternoon now.
5 My name is Dan Jakl, I work for Motorola Solutions. The
6 second issue that I'm here to address is differences in
7 chemistry between nickel batteries and lithium batteries. I
8 believe I brought this up again in last March's workshop,
9 but I would like to address it once more. In the meantime I
10 do also want to thank Ken Rider for working with us over the
11 last several months and the Commission for allowing us to
12 have this second workshop as well. So, off to the
13 presentation.

14 Right now the regulation as it's proposed does not
15 differentiate whether you are a nickel-cadmium battery
16 charger or lead acid, lithium-ion charger. There are limits
17 that you have to meet. Ken, if you would please go to the
18 next slide.

19 Most of our products that we offer for mission
20 critical use are multi-chemistry. We have nickel-cadmium,
21 nickel metal hydride and lithium-ion product. There are
22 some advantages still with nickel-based batteries today.
23 For some the cycle life is nearly double that of, let's say,
24 a lithium-ion product. So some customers find that as an
25 advantage in that they like the NiCd for that reason. In

1 other cases nickel batteries in general tolerate cold
2 temperature, they operate better at cold temperatures. And
3 I will have a chart coming up later to go through that. So
4 for some mission critical customers at maybe freezing cold
5 temperatures they want that additional capacity energy that
6 they can get out of the battery for further operations. And
7 we have listed a couple of uses for mission critical
8 product. All right, Ken, please the next.

9 Okay, some of the unique differences between them.
10 Unfortunately for nickel the charge efficiency isn't all
11 that great, maybe it's in the 80 percent or possibly 85
12 percent range. Whereas when you look at a lithium-ion
13 product you are near unity, you're 99 to 100 percent almost
14 in efficiency as far as the amount of energy going into the
15 battery and the amount of energy you're going to get back
16 out. So lithium has a great advantage there, it's much more
17 efficient when charging. You know, when Suzanne was up from
18 ECOS they had a nickel-cadmium charger but I don't think it
19 was a 1-2 hour charge, I think it was more like a 12-hour
20 charger. Our mission critical products, they need to be
21 charged in an hour, two hours, maybe three hours at the
22 longest. Our customers typically want to be able to put a
23 radio on the charger and come back just a few hours later,
24 take it out and it's ready to go for the rest of the day or
25 another ten hours of use or something of that sort. It's

1 not necessary to leave them in there overnight.

2 We do maintenance charge as well for nickel and they
3 do have a little bit higher self-discharge, which I know the
4 Energy Commission in the proposed ruling is already trying
5 to help improve the amount of energy that is available for
6 that function. And the other couple of things are just ways
7 that chargers and our batteries and products are used. Once
8 again, leaving a radio on or having it on when in the
9 charger, we can shut that off based on the way the procedure
10 is written today as far as those products. Next slide,
11 please.

12 To try to highlight the difference in energy that
13 nickel has versus lithium, we went back and we actually
14 found some data that was taken a few months ago on one of
15 our latest products. And the chart on the left shows a
16 nickel-metal hydride battery. And if you look at the red
17 curve, the one that goes up to about 25 watt-hours, that's
18 the amount of energy that physically went into the battery
19 during the charging process. The first straight line goes
20 out to about 90 minutes or so, that is the rapid charging
21 function. And then you can see it kind of slows down a
22 little bit, there is about a one hour trickle mode where you
23 get a little more capacity into the battery, and then it's
24 flattened out after that and there is very little
25 maintenance in that case. And then the green curve shows

1 the discharge. In this case, this discharge, we were doing
2 this at about a 1.0 C rate. I realize the test procedure
3 allows you to do about, I think, a 0.2 to 0.25 C rate. This
4 test data was done at 1.0 C. But you can see the difference
5 between the two is pretty significant.

6 And then you look at the lithium one on the right-
7 hand side and you can see the difference between the energy
8 going in versus the energy getting back out is much closer.
9 And in fact I did some ratios on the nickel battery, looking
10 at the peaks of that curve charge energy in was about 24.13
11 watt-hours and discharge energy coming out was about 15.8.
12 So if I did a factor, a charge return factor, dividing the
13 two I was getting a 1.52 factor. Whereas in the lithium
14 battery on the right doing the same math we had 19.94 watt-
15 hours going in and we were able to get 16.9 watt-hours out.
16 The factor is about 1.18. Significantly more efficient.
17 And, once again, this is just the energy going into the
18 battery and the energy coming out, it does not involve LEDs,
19 other functions or AC conversion and losses in charging
20 circuitry. This is just the battery energy going in and
21 out. Okay, next slide, please.

22 This slide here, we're trying to once again show,
23 well, if nickel is so inefficient why do you still use it?
24 And so the colors here are trying to help highlight where
25 there are some advantages still for nickel. So if you were

1 to look at the left column there, the temperature, at 0
2 degrees Celsius, freezing temperatures - which I believe you
3 have those in the State of California - a NiCd, NiMH have 80
4 to 85 percent energy available. And this is based on a 0.2
5 C discharge. But now we go to a lithium design, maybe you
6 only get 50 percent as far as the energy that you're going
7 to be able to get out of the battery for those customers
8 that need to use them in those temperatures. And getting
9 even colder, -20 C., the lithium is basically down to 20
10 percent for a cell that was specifically designed for cold
11 temperature performance. Whereas a metal hydride is at 50
12 percent. Next slide, please.

13 So going back to two slides ago we are hoping for
14 one if we could only - we have tri-chemistry chargers. If
15 we are allowed to test only the lithium-ion product, which
16 in that case is more efficient, it levels the playing field
17 for us and for our products. If not, could it be possible
18 that the regulation could give some additional offset for
19 nickel batteries? And in this case we put a 1.9 in there
20 versus a 1.6. And I believe a question came up earlier,
21 Well, where does the 1.9 come from? And what I was doing
22 was I was looking at the difference between the lithium
23 curve that was given, the 1.18, and subtracting that from
24 1.6 and then adding that to the nickel battery, which I
25 believe I said it was 1.58. And that gets me to the 1.9

1 number, to kind of equalize and level off the tradeoff
2 between the nickel and the lithium product.

3 Well, thank you for the time.

4 COMMISSIONER DOUGLAS: Thank you to both presenters
5 from Motorola. And we will look forward to more
6 presentations and discussion this afternoon. We have on the
7 agenda to come back from lunch at 1:15. We have eaten into
8 that by about seven minutes but unless anybody thinks that's
9 a huge inconvenience let's still come back at 1:15 and we
10 will resume then. Thank you.

11 (Off the record at 12:07 p.m., to resume at 1:15
12 p.m. this same day.)

13

14

15

16

17

18

19

20

21

22

23

24

25

1 A F T E R N O O N S E S S I O N

2 1:17 P.M.

3 MR. LEAON: Good afternoon, everyone. Welcome back
4 to the workshop. I think we are ready to go with a
5 presentation from NRDC.

6 MR. RIDER: Well, we have a caller from London in a
7 different time zone. So we are requested to make a
8 presentation from Larry Albert from PTI first.

9 MR. LEAON: Okay. Let's go ahead with that
10 presentation.

11 MR. RIDER: I will try to unmute Larry. Can you
12 hear me? Larry?

13 MR. ALBERT: Can you year me?

14 MR. RIDER: Yes, we can hear you now.

15 MR. ALBERT: Okay, great.

16 MR. RIDER: I will go ahead and change the slides
17 when you ask me to.

18 MR. ALBERT: Oh, thank you. Thanks for doing that,
19 Ken.

20 MR. RIDER: No problem.

21 MR. ALBERT: I would like to introduce myself. My
22 name is Larry Albert and I work for Stanley Black & Decker
23 in the role of a Senior Technical Manager for product safety
24 and compliance. I have been a participant in past
25 discussions on battery charger energy efficiency and

1 external power supply energy efficiency here at CEC as well
2 as at DOE, Energy Star and Natural Resource Canada
3 discussions. I would like to thank the Commissioner and CEC
4 staff for accommodating me in allowing me to provide
5 commentary today. I know it was sort of on short notice and
6 sort of acknowledging the fact that I have this time zone
7 issue that I'm dealing with. So thanks again.

8 Today I would like to focus really just on one sort
9 of narrow and perhaps a somewhat technical consideration
10 regarding the proposed CEC standards and the impact that
11 they would have upon nickel-based chemistries. This was
12 touched on, I think, a little bit earlier by Dan Jakl from
13 Motorola. And I would like to sort of elaborate on some of
14 these considerations because they are certainly key to our
15 industry and to other appliance manufacturers. Next slide,
16 please, Ken.

17 So just a little recap here, or introduction rather.
18 So basically what is happening here, the part of this that
19 we are most focused on is the proposal to regulate small
20 consumer battery charging systems with the understanding
21 that's both the charger and the battery combined. And then
22 a large proportion of these systems are used in appliances
23 and power tools. And a significant portion of those are
24 comprised of batteries that have nickel-cadmium or nickel-
25 metal hydride cells. The reason that these have become so

1 highly used in this product category is because of their
2 robustness, their safety and their ability to handle really
3 high discharge currents. And I think Dan mentioned before,
4 too, that - and this is not a small thing - that they are
5 much better than many other chemistries at lower
6 temperatures. However, there are some inherent
7 characteristics about these cells that tend to result in
8 lower efficiency for the charging systems that they are part
9 of. And we have understood from discussions earlier and
10 statements made earlier by CEC staff that it is not the
11 intent of this rule to outlaw a particular type of chemistry
12 as a means of achieving the targeted energy savings. And so
13 we are sort of presuming that to be still the case. Next
14 slide, please.

15 So just to kind of review the history here a little
16 bit. The original CASE proposal had essentially, in
17 addition to the power factor requirement, three other
18 metrics it was pursuing: no-battery mode power less than or
19 equal to 0.3 watts, maintenance power less than or equal to
20 0.5 watt, and E24, which is the 24-hour combined active mode
21 and maintenance mode would be that formula $12 + 1.6 \times E_b$.
22 This formula, this limit value is based upon two
23 considerations. One is the presumed 60 percent conversion
24 efficiency, conversion efficiency being the input to output
25 power efficiency of the battery charger into the battery.

1 And that you get by taking E_b , dividing it by 0.6 and you
2 get the 1.6. And the 12 comes from the half-watt
3 maintenance power limit over the 24 hour test period that
4 you conduct the test in. And that's what gives you the 12
5 watts, that constant term in the equation. Next slide,
6 please.

7 So the E24 limits, the development of that, that
8 started with that equation in the CASE proposal. And the
9 way that it was sort of illustrated in graphs and so on is
10 this active mode efficiency, which is the E_b divided by E24
11 value. And so it's essentially translatable, you can
12 translate sort of that curve to what you see for an E24
13 limit. And so in that CASE proposal there was a scatter
14 plot that showed that curve versus the battery energy and
15 plotted data points from various charging systems that have
16 been measured, compared them to the proposed limit line. In
17 that case what concerned us the most was that we saw no
18 nickel-based systems that were seen to comply above about a
19 10 watt-hour line.

20 And that is a big concern because for a lot of power
21 tools, I would say most power tools and other medium-sized
22 appliances, this is sort of the category that they live in
23 with respect to battery size and consequently charger power.
24 When the March workshop came around there was no
25 recommendation to change offered by CEC staff and

1 essentially, from what I can tell in the proposed
2 regulation, this requirement has stayed fairly constant. It
3 is essentially the same now except for it tops out at 100
4 watt-hours. Next slide, please, Ken.

5 And this is not my slide, I borrowed this from the
6 CASE proposal presentation. And it illustrates in the blue
7 line there the proposed standard, as I mentioned before,
8 plotted on this 24-hour efficiency versus Eb graph. And
9 again you can see that once you get past about 10 watt-hours
10 you don't see any of those red or orange dots that are above
11 the line. And so that's obviously of concern because the
12 question it raises is whether there is fundamentally an
13 issue with the feasibility that's associated with the
14 proposed standard value, whether this is even achievable
15 given the cells that are involved. Seemingly, lithium cells
16 didn't have that problem and the question is whether that is
17 just a function of technology that is later on in its
18 development or something fundamental to cell chemistry.
19 Next slide, please.

20 So in a similar fashion Pnb in the CASE proposal was
21 set at 0.3 watts. In that graph, which we will look at in a
22 moment, there was only one case above 20 watt-hours for
23 nickel systems that satisfied that. And for maintenance
24 power below half a watt there were again no cases of the
25 data that was used in the CASE presentation that met the

1 requirement above the 20 watt-hour line. So we're talking
2 again about these mid-power type chargers and their
3 correspondingly mid-energy battery packs.

4 In the staff proposal of the March meeting there was
5 an improvement in that there was a proposal that - or
6 recognition, anyway, that scaling was appropriate for the
7 maintenance power limit as the maintenance power that is
8 required to maintain batteries is a function of battery
9 energy. And so therefore there was an analysis done which
10 looked at a self-discharge rate of three percent, factored
11 that into the original equation and came up with a modified
12 equation with a coefficient of $4E_b$ that then now applies an
13 extra allowance in cases where E_b is fairly large. This is
14 a pretty modest adjustment. I think you can see that even
15 when you are out at 100 watts the correction there is still,
16 you know, about 0.2 watts at that point, it's pretty small.
17 So not surprisingly when you again compare this new limit
18 line against the data points that are available there again
19 were no cases of nickel systems that filled the requirement
20 in that range above 20 watt-hours.

21 And most recently the proposed amendments had
22 another change that I would treat as an improvement. This
23 is where P_{nb} and P_m measured combined now need to be less
24 than a limit value that again has a scaling factor
25 correction on it. And essentially a constant value that is

1 roughly equal to the sum of the two quantities we had
2 before, 0.5 watts and 0.3 watts. So you would expect at
3 least that. In addition, it bumped up by an additional 0.2
4 watt. So, while this is, you know, again a conceptually
5 important step to take because it recognizes the fact that
6 there are tradeoffs in design between these two elements it
7 really doesn't address the fact that there are not, again,
8 many cases - in fact, no cases - that would comply above 20
9 watt-hours. Because now you see the Y intercept of the blue
10 line going up to 1 watt but really not a lot of change out
11 in the midrange. Next slide, please, Ken.

12 And so here the two graphs depicting that. This is
13 again the original graph from the CASE document. And again
14 you can see there is only one case once we get out there
15 past 20 watt-hours that is below the line. Next slide,
16 please.

17 And this came out of the March 3rd workshop. This
18 is a combination of the original proposed limit line in the
19 CASE document along with the staff improvements by applying
20 the scaling factor. Again you can see how obviously the
21 line increases as you go up in higher watt-hours but still
22 at 100 watt-hours, which is the limit for these small
23 consumer chargers, it doesn't even creep above the one watt
24 line. The proposal that's been made most recently is to
25 take this and the Pnb value and add them together and add an

1 additional 0.2 watt. So what that basically would do is
2 take the blue line - I think Ken might have had a slide
3 earlier which shows this better than this or maybe it was
4 Suzanne - and it actually starts at one watt then but it
5 ends up pretty much in the same place over on the right-hand
6 side. This is a log plot. Next slide, please.

7 So far, you know, our big concern is that sort of
8 variety of steps, while there has been improvements, still
9 all of these proposals fail to address nickel-based battery
10 charging systems. And that's certainly evidenced by the
11 data that we see depicted in these scatter plots and where
12 the proposed lines are. However, it is an improvement to
13 have Pnb and Pm combined together because it certainly
14 allows for design tradeoffs. But it is still at this point
15 not high enough to allow for the more typical nickel-cadmium
16 cases.

17 So in general we have nickel-based systems that are
18 not represented here by these lines and so therefore our
19 concern is that they would be basically left out and we
20 would not be able to continue to use nickel-based battery
21 charging systems for these sort of mid-powered products.
22 They are all related to, I believe, the essential nature of
23 the way these cells - nickel-cadmium and nickel-metal
24 hydride cells - are constructed and how they operate. And so
25 I'm concerned that these would ultimately be - since it's a

1 function of these cells - it would basically outlaw anything
2 that was comprised of those cells. Next slide, please.

3 Okay, so here's an example from a pretty
4 representative power tool case. For an 18 volt battery, a
5 nominal 18 volt battery at 2.2 amp-hour the Eb for that
6 battery based upon the nominal ratings of the cells would be
7 40 watt-hours. The required maintenance current to maintain
8 that based upon typical recommendations of cell suppliers
9 would be maybe C/40. So at 2.2 amp-hours divided by 40 that
10 gives you 55 milliamps. During the end of charge, during
11 maintenance cells that are nominally 1.2 volts per cell, per
12 NiCd cell, rise to as high as 1.5 volts because now they are
13 actually under a state of charge. And so therefore that 18
14 volt nominal battery actually reads out closer to 22.5
15 volts.

16 The required power into the battery in this case is
17 then the product of the current in the voltage, which is
18 1.24 watts. Going back to the CEC formula that the Pnb plus
19 Pm for this case here would allow only 1.08 watts for both
20 the no-battery mode and the Pm mode combined, which is
21 obviously lower than the power going into the battery all by
22 itself. So even if we had a 100 percent efficient charger
23 and zero no-battery mode and no overhead, this system would
24 fail the requirements that are being proposed on the latest
25 CEC proposal. And that's a concern because we really looked

1 into nothing in this design other than the fundamental
2 nature of the cells and what their requirements are. The
3 failure can't be attributed to poor charger design because
4 the charger is not even taken into account here. We're
5 looking at just what the requirements of the battery alone
6 would be independent of any charger providing the energy to
7 it. So if you can't meet this in the most abstract case
8 then it's unlikely we're going to be able to achieve these
9 requirements for nickel-cadmium cells with any real battery
10 charger. Next slide, please.

11 So why does this occur? These cells have, as has
12 been mentioned, a significant self-discharge rate unlike,
13 for example, lithium cells. And that requires ongoing
14 charging at a very low charging rate. Because of that cells
15 are designed to be overcharged, meaning that past the point
16 of being charged you can continue to put energy into them
17 and some of that energy is provided to overcome the self-
18 discharge of the cell. But to do this overcharging safely
19 requires that you have a secondary reaction in the cell.
20 This is what the cell suppliers provide. And this reaction
21 is necessary because these are sealed cells. They don't
22 actually share their internal environment of the cell with
23 the atmosphere. And because of that it's a closed system.
24 And any gas byproducts of the charging reaction have to be
25 consumed by the recombination reaction.

1 This reaction, this secondary recombination
2 reaction, actually uses far more energy than the self-
3 discharge does. And so, considering that self-discharge has
4 been the case before it does not accurately reflect what the
5 demands of the cell are because they are really related more
6 significantly to the secondary reaction. The typical
7 recommended charge rates to provide maintenance of cells is
8 anywhere from C/50 to C/20. That means the capacity of the
9 cell in amp-hours divided by 50 to 20, which is, you know,
10 for a two amp-hour cell or something it's like 40 milliamps
11 to 10 milliamps.

12 So what happens is, not only is this a factor when
13 you're maintaining the cell but it's also evident when you
14 are doing bulk charging, that is active mode charging.
15 Because during that time the reaction is still present and
16 it's competing with the charging reaction. And so it is
17 basically diverting some portion of the charging current
18 into the recombination reaction and lowering the charge
19 efficiency of the cell, that is, the amount you're going to
20 get out of the cell compared to the amount you put in. It's
21 a function of charge rate but a typical value might be
22 around 1.4. You know, again meaning you would have to put
23 in 40 percent more charge into a cell than the energy you're
24 going to get out of it. Next slide, please.

25 So - and this gets a little dense here - but to go

1 through the development of this we start with sort of the
2 original proposal, or from the last workshop, of 0.5 watts
3 plus some coefficient times E_b . And we stick with P_{nb}
4 equals 0.3 watts. This K times E_b was 0.0021 at the
5 workshop. What I'm concerned about here is, what should the
6 coefficient really be using the same sort of thinking that
7 was used back then? And basically the notion was rather
8 than looking at data to determine what those limits were CEC
9 seemed to pursue trying to understand more deeply what the
10 nature of the battery charging systems needed to do and how
11 to account for that in terms of establishing minimum
12 requirements. And those minimum requirements would be
13 reflected back into sort of the optimal efficiency of the
14 battery charging system.

15 So this is an attempt to improve upon that approach
16 by going in and actually taking into account some of the
17 real considerations that happen in nickel-cadmium systems.
18 So therefore the maintenance power then from that formula is
19 0.5 watt plus the battery charge times the charging current
20 divided by this 0.6, the conversion efficiency that was used
21 earlier. If you assume maintenance current at I_m equals
22 $C/30$ and we know that the energy of the battery is the
23 battery voltage nominal times the capacity. And we further
24 know that battery voltage in the charge state is roughly
25 1.25 times the battery voltage nominally. And that is due,

1 again, to the cell voltages being higher during maintenance
2 charging.

3 So if you combine that all together what happens is
4 you get down at the bottom a limit equation of P_m equals 0.5
5 watts plus 0.7 E_b for maintenance power by itself. But we
6 are looking for the combination of maintenance power and no-
7 battery power. And so if we add the 0.3 watts back in we
8 get an equation of 0.8 watts plus 0.07 E_b . So this works
9 out well. The only thing I think is the problem with this
10 is that when you get down to very low powered chargers I
11 think there is a recognition on the part of the most recent
12 proposal by staff that you need to have a sort of floor of
13 power provided to ensure that those very low chargers there
14 can actually satisfy their minimum charging requirements and
15 also provide the overhead that they need to be able to
16 terminate or whatever other kind of processing they need to
17 do. And that has been reflected by putting a one watt
18 minimum into that equation.

19 And so what I'm proposing here basically is that the
20 combination, the limit value, should be the greater of one
21 watt or this equation, 0.7 plus 0.07 E_b . That 0.07, that
22 larger coefficient for E_b , would allow more correctly for
23 mid-power chargers so you could actually achieve that
24 through chargers that need to charge in that, you know, over
25 20 watt-hour range, from 10 on or 20 on all the way up to

1 100 watt-hours. This takes care of the P_{nb} plus P_m limit.

2 Next slide, please.

3 So same problem when we're talking about E24. If
4 you start with what is currently proposed here, which is 12
5 plus 1.6 E_b , and just sort of decompose it into the elements
6 that went into making it, the first term there is really 24
7 times the old proposed P_m value of 0.5 watts. And the
8 second term is really the battery energy divided by the
9 conversion efficiency, which I have reflected with η here.
10 So the first time is really kind of the maintenance
11 component of the combined maintenance and active mode and
12 the second term really is intended to handle the active mode
13 portion of what happens during E24.

14 So if we focus on the active mode term for a moment,
15 the charge efficiency for nickel-based systems again is
16 somewhere between maybe 1.2 to 1.6, depending upon what the
17 charge rate is. If we choose 1.4 as sort of a median value
18 and then we pick an η value that is actually higher than
19 the originally proposed 0.6 - because this represents the
20 conversion efficiency during active mode, which we would
21 anticipate would be more efficient than during maintenance
22 mode - then when you come out you get an active mode term
23 that comes out to be 1.86 times E_b . Next slide, please,
24 Ken.

25 The second part of this is the maintenance term of

1 the equation. And this is 24 times the maintenance power.
2 The previous equation that we used for maintenance power is
3 0.5 watts times 0.07 Eb. You substitute in and you go
4 through and you multiply things through and you get 12 plus
5 1.68 Eb. You put that together and the final form of this
6 is E_{24} less than or equal to 12 plus 3.5 Eb. Essentially
7 this same notion was presented in March except with a
8 coefficient that we think is much more appropriate to handle
9 the charge efficiency issues that are associated with
10 nickel-based system. And again for these very low systems
11 we propose setting a floor for these of at least 20 watt-
12 hours, which is really very small because that's essentially
13 an average of 0.8 watts per hour over the 24 hour test
14 period. So that would be the minimum value or whatever the
15 equation calculated out to be, whichever was the greater.
16 Next slide, please.

17 So in summary we feel that the limits right now
18 essentially create a situation where nickel-based mid-
19 powered systems would be effectively outlawed and would no
20 longer be available within California after the effective
21 date. You don't see that there has been any feasible
22 solution evidenced either by the data that is in the CASE
23 document or subsequent to that nor the engineering analysis
24 that's been performed by CEC. Allowing mid-powered charging
25 systems more leniency to allow them to continue to exist

1 would not have any effect upon the proposed low power limits
2 the CEC is advancing here.

3 And so essentially all of those products down below
4 10 watts would not change in terms of whether they were in
5 or out in any appreciable manner. This is truly something
6 to accommodate the mid-powered products out there, which
7 admittedly there may be fewer of. But some of the needs for
8 using nickel-based systems are just as important there as
9 they are in the lower powered products. And so we would
10 like the Commissioner and Commission staff to consider this
11 proposal as an alternative to the ones that are being
12 advanced currently.

13 I appreciate all of the accommodation that CEC staff
14 has provided in allowing me to speak today and in the past
15 and having this ongoing discussion about these issues. And
16 I appreciate also the flexibility that we have seen so far
17 in terms of coming up with alternatives to the original
18 proposal. Thank you.

19 MR. RIDER: Larry, would you be able to hold on on
20 the phone until after the NRDC proposal? I have a blue card
21 with a question here but seeing as we were trying to hold
22 off questions until after the presentations, will you be
23 able to hold on for another 15 or 20 minutes?

24 MR. ALBERT: Sure.

25 MR. RIDER: Okay.

1 MR. ALBERT: Are you going to mute me in the
2 meantime and then unmute me?

3 MR. RIDER: Yes, I will mute you and then I will
4 unmute you when the question is asked.

5 MR. ALBERT: Okay, great. Thank you.

6 MR. LEAON: Okay, our final presentation will be
7 from NRDC.

8 MR. DELFORGE: Commissioner Douglas and CEC staff,
9 thank you for the opportunity to present NRDC's perspective
10 on this important rulemaking. First slide, please, Ken.

11 I would like to start off saying that we strongly
12 support the CEC proposal on this rulemaking and we urge you
13 to proceed without delay. And I will get into why we think
14 it is important to proceed quickly. The savings of this
15 proposal are very large, the equivalent to a 350 megawatt
16 power plant. That is as much electricity as is used by all
17 the households in a city the size of San Francisco. And
18 from a financial perspective it is \$300 million per year in
19 Californian's pockets, which will stimulate the economy and
20 create jobs. So this is also very important from an
21 economic perspective. From cost effectiveness, it is
22 extremely cost-effective with a benefit to cost ratio of
23 seven to one overall. So, you know, I think this is an
24 important proceeding to pursue. Next slide, please.

25 Before we delve into the reasons for our support in

1 moving forward I would just like to - it is important to
2 note that some of the efficiencies of the products currently
3 on the market are extremely low today. And especially
4 looking at these low power products, the efficiencies as
5 measured by this test method are around two to three percent
6 for the worst products, which effectively means that 98
7 percent of the electricity is wasted, either by the charger
8 or in the off mode functions and not delivering value to the
9 user. And on behalf of our members, NRDC thinks that this
10 is unacceptable in the current climate that we waste this
11 amount of energy and clearly something needs to be done.
12 Next slide, please.

13 So let me address the key question. You know, with
14 DOE moving ahead with its own proceeding, which will preempt
15 California when it is effective, why is it important for CEC
16 to move forward? I think the important thing to consider is
17 that DOE has proposed different Candidate Standard Levels,
18 or CSLs. The two most relevant ones are CSL1 and CSL2, CSL1
19 being middle of the market and CSL2 being best in market.
20 And CSL2 yields approximately 60 percent greater savings
21 that CSL1. So if we think of it in terms of what is our
22 desired outcome here we would like to - you know, we think
23 the best outcome would be for CEC to adopt a strong standard
24 at the CSL2 level, which is roughly what the current
25 proposal is, and to have DOE follow suit within their own

1 timeline.

2 And in order to do this it is important that CEC
3 moves forward before preemption and therefore before the DOE
4 adopts its final ruling. If we did not do so, you know, not
5 only would we forsake the savings until DOE's rule comes
6 into effect but we also would potentially forsake the
7 savings in an ongoing basis that would come from having a
8 strong standard at the CSL2 level. So we think this is one
9 of the key reasons why we are urging the Commission to
10 proceed with the current proposal as soon as possible. I
11 would also like to point out that, as presented by Dennis
12 Beck this morning, the schedule for DOE is very uncertain
13 and seems to be significantly delayed. And that every month
14 that CEC can gain on the DOE schedule will save Californians
15 an extra \$25 million, which is also very significant. Next
16 slide, please.

17 Now I would like to address some of the industry
18 concerns that have been raised over the past three
19 workshops. And first we acknowledge that there have been
20 very significant changes and adjustments made to the
21 proposal in the last round, sixteen changes both to scope,
22 test procedure and the standard, including some very
23 significant ones. We recognize that there are some
24 legitimate concerns that have been addressed and need to be
25 addressed but we also caution the Commission about giving

1 out too many concessions that would weaken the standard. I
2 think we have one shot to get this right. If we try to go
3 again, you know, if we do incremental changes, the last
4 incremental steps may not be as cost effective to justify
5 the standard. So it's important that we get it right from
6 the first go. And I would urge the Commission not to trade
7 stringency for timing. I think it's important to go quickly
8 and to try and have the standard implemented as soon as
9 possible but it's also possibly even more important to have
10 the right standard with the right level of stringency.

11 I would also like to point out that there have been
12 some very supportive comments, in particular one comment on
13 the docket which is from the _____ Manufacturer's
14 Association - and, Commissioner Douglas, I don't know if you
15 had the chance to read it but I think it's important. It's
16 a statement in support of the proposed standard. They are
17 the manufacturers who actually manufacture the components
18 used for battery chargers and external power supplies. And
19 they state that technically these components are already on
20 the market so it's technically feasible, it's affordable,
21 and they think it's actually good, it's important to move
22 forward with that type of technology. Next slide, please.

23 I would also like to point out that in the past - in
24 particular two proceedings, one on the external power
25 supplies - we have heard some dire predictions about empty

1 shelves and product not available because they might not be
2 able to meet the standard. And the reality is that none of
3 this happened. The standard was implemented with no harm on
4 California and was even adopted in the US and
5 internationally and it was extremely successful in terms of
6 saving energy and in terms of financial savings. I think
7 this EPS standard in particular is a model of what we need
8 to achieve on the battery charger standard. Next slide,
9 please.

10 Another one even more recently on TV, which again
11 the prediction from CEA was that the standard would empty
12 shelves. And the reality is that the majority of the
13 products on the market already meet Tier 2 two years early,
14 they cost less and have more functionality than prior to the
15 standard. So I think we should recognize that this is not
16 representative of the entire industry feedback and a lot of
17 engagement has been constructive. But we also urge industry
18 not to be overly pessimistic or conservative in the claims
19 of the impact of the standard and to support a standard
20 which will be in the interest of Californians and of the
21 future of society by eliminating undue energy waste. Next
22 slide, please.

23 I would like to briefly address some concerns
24 expressed by the IT industry representatives. I have spoken
25 to around the previous version of the standard before the

1 combined metric, which was both in terms of the test
2 procedure and the stringency of the limits in no-battery
3 mode and maintenance. And there is another standard coming
4 into effect in the EU which requires 0.5 watts in standby
5 mode by January 2013. So it is not exactly comparable
6 because it doesn't address the battery charging energy,
7 purely the EPS and the (unintelligible) in the notebook.
8 But when you compare the different components of the two
9 standards the current CEC proposal with the combined limit
10 based on our analysis is actually slightly less stringent
11 than the EU standard and allows more than necessary energy
12 for charge control and battery losses of the lithium-ion
13 batteries. So certainly we think this is sufficient and it
14 could even be slightly tighter, like to the 0.8 plus 0.0021
15 Eb, and would still allow notebooks to comply.

16 There was also concern about the test procedure and,
17 while we understand the suggestions of eliminating or
18 isolating the non-battery charger rated functions from the
19 test procedure, we think that this is not necessary. This
20 actually could be counter-effective as explained by Suzanne
21 Porter from ECOS this morning, that it would create a
22 loophole by allowing unnecessary waste in off mode. And the
23 current standard level allows compliance within the current
24 test procedures. We don't see a need and we don't advise
25 that the test procedure be modified to meet that need. Next

1 slide, please.

2 So finally I just want to address the labeling or
3 efficiency marking requirement. We believe that this is
4 something which will facilitate enforcement and we have a
5 precedent on this with the EPS, the external power supplies,
6 where a similar mark was extremely successful and
7 instrumental in getting the efficiency requirements
8 implemented nationally and internationally. So this
9 facilitates compliance because the mark is much easier to
10 verify than a set of equations and metrics and limits. So
11 it allows the compliance to be obvious just from looking at
12 the product. Next slide, please.

13 So I recognize some of the concerns by industry that
14 this creates an additional local- or state-specific mark but
15 really this is not the intent of the mark. The intent of
16 the mark is to become a national and, if possible,
17 international mark just like the EPS one. It will
18 facilitate compliance verification. So, as Ken clarified
19 this morning, it would not replace certification in
20 California. But I think the compliance verification benefit
21 still holds. Perhaps more importantly it creates a
22 framework so that internationally we can have a set of
23 consistent regulations on an international basis which makes
24 implementation of the standard much more cost effective
25 internationally. So we believe it is important to adopt

1 this requirement and to move forward with it and that will
2 be a success factor for having the standard adopted
3 nationally and internationally. Next slide, please.

4 In terms of the location of the mark, we have had
5 some concerns about where the mark should be located, which
6 of the components or the battery chargers. We have made
7 some suggestions here showing that, you know, there are
8 already many marks on these products for safety, for
9 materials. And what we are suggesting is just to add one
10 for energy efficiency, which I think is very warranted. And
11 the issue of the four different form factors that we find
12 commonly on battery chargers, there is a - you know, it's
13 easy to find a place to put this mark. Again I want to
14 clarify this is not a consumer-facing mark, it's a
15 compliance mark and to facilitate a regulator, enforcement
16 and manufacturer compliance as well as management with their
17 suppliers. Last slide, please.

18 So just in summary we think this is an extremely
19 cost effective standard, again, with a benefit to cost ratio
20 of seven to one. It is technically feasible and reasonable,
21 as demonstrated by the power source manufacturers' feedback.
22 It is going to be a major energy and greenhouse gas savings
23 opportunity in support of California's greenhouse gas goal.
24 And it is also a great opportunity for growth and jobs in
25 California, given the magnitude of the savings for

1 Californians. That concludes my comments. Thank you.

2 COMMISSIONER DOUGLAS: All right. I think we are
3 through the presentations. We have a request to ask a
4 question of Larry Albert. So, Larry, thank you for hanging
5 on the line. Gary Fernstrom, you have a question? Please
6 come forward. Gary Fernstrom is from PG&E.

7 MR. ALBERT: Gary?

8 MR. FERNSTROM: Hi, Larry. Hey, thank you for
9 hanging in there until after ten o'clock to take my
10 question.

11 MR. ALBERT: No problem. I wish I was there in
12 person, believe me.

13 MR. FERNSTROM: Yes, we wish you were here, too.
14 It's a beautiful day in California. Here is my quick
15 question. I have worried too many times about nickel-
16 cadmium battery chemistry with respect to these standards.
17 And I think you and the folks from Motorola make excellent
18 technical points about that chemistry. But I have been led
19 to believe by the technical experts that I am in contact
20 with that if nickel-cadmium batteries had the same smart
21 charge algorithms and the same smart charge circuitry that
22 lithium-ion batteries did their performance could be
23 improved. If they are charged with conventional circuitry
24 in the conventional manner then, yes, they behave as you and
25 Motorola represented.

1 So would you care to comment on whether the
2 opportunity here is with the battery chemistry or whether or
3 not the charge algorithm and charge circuitry might have a
4 bearing on performance?

5 MR. ALBERT: Yes, no problem. It's a really good
6 question, Gary. And it's going to require a little bit of
7 explanation but it's worth going through, I think. The fact
8 of the matter is that because nickel-based chemistries
9 require maintenance charging there are two broad categories
10 of chargers that are out there. There are chargers that -
11 maybe calling them dumb wouldn't be fair, but they are
12 definitely not smart, right? These are chargers where
13 basically the active mode charge rate is low enough that it
14 can also suffice as the maintenance charge rate. And so
15 this might be a charger that, you know, charges maybe over
16 16 hours. And because of that the charge current is pretty
17 low. And it's low enough that you can actually keep on
18 charging it at that rate because the cells can in fact
19 tolerate it. And, of course, it will maintain the cells
20 during that time. But it's an excessive amount of
21 overcharge for what the cells actually require.

22 And so I think it's been recognized by folks that
23 these kinds of chargers in fact are the ones that, you know,
24 are probably the worse offenders when it comes to appliance
25 battery chargers. Because there is an opportunity once the

1 pack or the battery is fully charged to lower the charge
2 current down to some more moderate value. There are already
3 any number of chargers out there for nickel chemistries that
4 already have smarts in them, either because they need to
5 because the charge rate is too fast to be able to employ
6 this simpler system or for a variety of other reasons,
7 right? So certainly the technology to do charge termination
8 for nickel-based systems is well known. It is not
9 necessarily as simple maybe as folks might think it is but
10 it certainly can be used.

11 You still, however, are stuck with the situation
12 that when you fully charge you have to maintain the charge
13 of the batteries. And so you can throttle the charger down
14 to whatever that minimum level happens to be for that
15 battery to be able to keep it in the state of readiness
16 until the user needs it. But the inherent nature of these
17 cells is they do have self-discharge, they do require
18 maintenance charging and so on. And just to compare this
19 to lithium - which is like the complete opposite case,
20 right? - in lithium cells not only can you terminate but you
21 must terminate because you cannot continue to charge these
22 cells past the point where they are fully charged for safety
23 reasons. And because of that then obviously there are
24 technologies developed that terminate charging and
25 completely turn off the current into the cells because it is

1 essential to do so. The reason you can get by with this
2 with lithium cells is that they have effectively no self-
3 discharge rate and so therefore don't require maintenance
4 charging. That is one of the key differences between the
5 two kinds of chemistries.

6 So in short, definitely there is an opportunity for
7 improvement for nickel-based charges, particularly of the
8 not-smart type. And I think, you know, certainly in talking
9 to Ken and Harinder and so on I think they understand this
10 in terms of where they are trying to go with the standards
11 and proposing a maintenance power limit of combined no-load
12 and maintenance power limit that is low enough that it
13 essentially would not be able to let chargers that don't
14 terminate through. But at the same time you shouldn't be
15 setting that limit so low that you can't keep these cells in
16 a state of readiness.

17 So really the discussion is not about - at least in
18 my mind it's not about the question of whether we get rid of
19 continuous rate chargers. I think that is already decided.
20 I think the question is making sure that the smart chargers
21 that we have going forward can in fact do what they need to
22 do by setting the maintenance limits at a level that
23 appreciates the necessity of nickel-based cells for this.

24 MR. FERNSTROM: Okay, so Larry, just one more
25 really quick question. Having focused in on this

1 maintenance charge necessity for NiCd cells, would it be
2 possible to perhaps cycle the cell between a hundred percent
3 readiness and ninety percent readiness rather than
4 continuously charge it to maintain a hundred percent
5 readiness and gain some additional efficiency that way? I'm
6 just looking for other algorithms or other opportunities
7 that maybe haven't been considered.

8 MR. ALBERT: It is a good question, Gary. And I
9 don't have an answer for it because I'm not familiar myself
10 with if such an algorithm exists or not. You know, whether
11 it's been patented or anything like that. I know ideas like
12 this have been talked about. You know, one kind of thinking
13 would be that eventually you're going to have to recover
14 that charge anyway that you've lost. And when you do that
15 you are going to suffer the same kinds of inefficiencies.
16 There might be a marginal improvement in doing what you
17 suggested. I don't know whether there is any basic research
18 going on out there to do this. But certainly, you know, you
19 could imagine that if you figured out that that was
20 something that could improve energy efficiency you could
21 imagine there being an algorithm, as you mentioned, to
22 accomplish it.

23 MR. FERNSTROM: Okay, thank you very much for your
24 thoughtful responses.

25 MR. ALBERT: Hey, sure. No problem, Gary.

1 COMMISSIONER DOUGLAS: Are there any other
2 questions for Larry before we let him get off the phone?

3 MS. PORTER: I had a blue card with one question on
4 it.

5 COMMISSIONER DOUGLAS: Is it a question for Larry
6 or is it a comment?

7 MS. PORTER: Yes, it is related.

8 COMMISSIONER DOUGLAS: All right, well why don't
9 you come forward then and that way if he has any response he
10 would like to give he will be able to do so.

11 MS. PORTER: This is Suzanne Porter representing
12 the IOU statewide codes and standards team. Hi, Larry.

13 MR. ALBERT: Hi, Suzanne.

14 MS. PORTER: I wanted to make a couple of comments
15 related to the differences between nickel-cadmium and
16 lithium-ion chemistries. It's true that they have different
17 technical characteristics but there are also elements
18 related to the market that have created significant
19 differences in the way that the battery chargers have been
20 designed for these two chemistries today.

21 So Larry pointed out first of all that the products
22 that we see in the market for nickel-cadmium and nickel-
23 metal hydride, fewer of them meet the standard and in
24 certain ranges none of them meet the standard. And he
25 suggested the primary reason for that is because of

1 technical differences between the chemistries. There are a
2 number of market differences between products that have
3 lithium-ion chemistries and those that have nickel-cadmium
4 and nickel-metal hydride that I would like to point out,
5 that in part have led to low cost, less efficient designs,
6 which makes it difficult to find these kinds of designs in
7 the market today.

8 First of all, nickel-cadmium and nickel-metal
9 hydride is not a safety issue to overcharge nickel-cadmium
10 and nickel-metal hydride cells in the same way that it is
11 for lithium-ion. As a result of - it's possible to
12 overcharge and overcompensate for the trickle charge, which
13 is a lot of what historically has been done as sort of an
14 engineering rule of thumb to ensure a hundred percent
15 readiness. Significant research by Isidor Buchmann, who is
16 the head of a battery analyzer company in Canada and has
17 published a number of books around batteries and battery
18 chemistries and how they behave, suggests that the trickle
19 charger for these products can actually be significantly
20 lower than the engineering rule of thumb that historically
21 has been used, enabling much lower battery maintenance
22 levels than we see in products today. And it's on these
23 numbers that we have built the model that formed the
24 foundation of the Codes and Standards Enhancement Report as
25 well as the models that we supplemented in the March

1 workshop, where we picked the highest battery chemistry that
2 was available on the market, including the same power tool
3 example that Larry gave. And our model shows very different
4 battery maintenance requirements at lower trickles. So I
5 just wanted to point out that part of the reason why we
6 don't see products today is because of the nature of the
7 chemistry and the fact that we can overcharge it
8 significantly.

9 Secondly, nickel-cadmium and nickel-metal hydride
10 are a lot less sensitive to cold and temperature
11 differences. They are a lot more proven technology. But
12 the other thing that I wanted to emphasize is they are also
13 a lot less expensive than lithium-ion chemistries. And that
14 cost differential has been going down over time. But as a
15 result they tend to be incorporated into products that are
16 very price sensitive. So what this means is that the
17 simplest circuits split pennies in order to try to reduce
18 cost to the consumer to beat in the market that are being
19 sold in the Home Depots and other low cost, high volume
20 products is an important consideration that the market has
21 driven. And this is an opportunity for the Commission to
22 create an alternate market incentive to enable a lowest cost
23 life cycle to the consumer rather than having a very low
24 first cost and a more expensive energy bill over the
25 lifetime of the product.

1 And I won't go through the detail of the model that
2 showed the trickle charge values that we felt were needed,
3 but there are between 0.3 and 0.36 watts, they are
4 documented in the docket in the presentation we made in the
5 March workshop. And we would be happy to supplement that
6 with comments in our IOU response. Thank you.

7 COMMISSIONER DOUGLAS: Thank you. Larry, if you
8 are still on the phone we will give you an opportunity if
9 there is anything you would like to add and then send you on
10 your way at past ten p.m.

11 MR. ALBERT: Okay, thank you. With regard to
12 Suzanne's first comment, the values that I mentioned in the
13 analysis there were recommended values from the cell
14 suppliers themselves typically. And, you know, they vary
15 all over the map. And so there is certainly an opportunity
16 to do some research for lowering whatever the minimum
17 current requirements are. I just want to caution people who
18 are not manufacturers that, you know, when you need to make
19 a product for a certain environment you need to consider the
20 application of the product over a wide range of
21 considerations. And most companies that do this on a
22 regular basis have pretty extensive test regimes, pretty
23 extensive laboratories to do this kind of testing. So it is
24 typically the case that when a manufacturer is choosing some
25 sort of maintenance current they are certainly going to be

1 prudent to make sure the performance is there and they are
2 certainly going to test it over a wide range of conditions
3 that might happen in real life. And certainly in laboratory
4 situations you can get some pretty optimal effects that are
5 not necessarily achievable in the actual marketplace or
6 during manufacturing. So, you know, certainly if there is
7 data to suggest or there are certainly examples out there
8 that we can point to that show in similar applications lower
9 charging current then certainly I think manufacturers would
10 be interested in that.

11 With respect to the lithium versus nickel question,
12 this really gets down to the point of whether it is the
13 intent of the Commission to achieve lower energy consumption
14 and higher energy efficiency in battery charging system by
15 essentially eliminating nickel-based systems because of
16 their lower inherent energy efficiency. And we have been
17 repeatedly told that that has not been the case, that was
18 not the intent of what was going on, there was every
19 intention to maintain chemistries and let them live out
20 whatever life they were going to live out. And it was not
21 something that was going to be constrained in such a way by
22 regulation as to basically force manufacturers to switch
23 chemistries before they or their customers were willing to
24 make that change. And so for whatever reasons we might
25 suppose why nickel is around and lithium is not, the

1 question is if you find a nickel-based system out there you
2 cannot in your analysis, I would think, fairly say that you
3 are going to achieve the required energy efficiency by
4 switching it to an alternate chemistry. And if that is your
5 intent then I think it would require going back and first of
6 all notifying stakeholders and manufacturers of that intent
7 and, secondly, to consider that as part of the cost of
8 making the switch to the more efficient system and what that
9 would entail, both in terms of product cost and also in
10 terms of retooling cost. And certainly that has not been
11 what I've seen so far.

12 Most of the considerations with respect to what it
13 would take to comply have involved taking the chemistry as
14 it stands and just working with it to try to improve the
15 energy efficiency of the system. So it would be interesting
16 to see whether the Commission's intention is to do as sort
17 of Suzanne is suggesting and create a limit that is strict
18 enough to effectively outlaw nickel systems in the hopes of
19 finding higher energy efficiencies and lower consumptions.

20 COMMISSIONER DOUGLAS: All right, Larry, thank you
21 very much for joining us from London and thank you for your
22 very detailed and well-developed comments. It helps us a
23 lot when we have very specific comments like this to look at
24 and to consider. I would like to invite you to submit
25 written comments as well and elaborate on anything that you

1 may have given us or based on anything that you might have
2 heard today. And with that we will let you go. So thank
3 you very much.

4 MR. ALBERT: Thank you.

5 COMMISSIONER DOUGLAS: At this point I don't think
6 we have any more presentations. I'm going to go down the
7 list of blue cards in the order in which I've received them.
8 I'm going to give Suzanne another opportunity because I
9 think she stood up based on wanting to catch Larry. But
10 there may be other things that she had to say. So with no
11 further ado, if anyone else wants to fill out a blue card
12 please do so. I would like to ask Rick Habben to please
13 come forward.

14 MR. HABBEN: Good afternoon. I want to also thank
15 the Commission for having this additional workshop. I
16 appreciate the opportunity to come and to comment. And I
17 also want to thank Harinder and Ken for the recent openness
18 and being able to have, I think, some good discussions, some
19 good comments back and forth, dialogue on some of these
20 issues.

21 I would first like to start out that, you know, I
22 have some concerns and maybe I'm not familiar with where all
23 the data is coming from. But I hear mainly from ECOS the
24 amount of savings that are going to be obtained through some
25 of these changes. And I guess, you know, I'm not seeing any

1 background data as far as the households, you know, is it
2 the average household energy that is being calculated as far
3 as the savings, are they four-family homes or are they two
4 person homes? You know, where is the background data for
5 all this energy savings that is being thrown around?

6 The other thing that I would just question is, you
7 know, are duty cycles that we've mentioned in the past being
8 taken into consideration when all these calculations are
9 being made? Obviously, for beard trimmers that we make, the
10 majority of them are not left plugged in. So to take a
11 wattage from a beard trimmer and apply that to 24/7, 365
12 days a year is completely not rational to do because that is
13 not the way the products are being used. So I'm just
14 wondering where all that energy savings and what the numbers
15 are based on to come up with the kind of numbers that we are
16 talking about.

17 I would like to go through some of the issues that
18 were brought up on the one slide of ECOS. And, Suzanne,
19 obviously you can answer at the end and I'm sure you will
20 have some answers for some of this. One of the things that
21 I wanted to bring up was regarding the circuit board. In
22 there, there is a comment that says circuit design and board
23 design can be absorbed into regular OEM redesign schedules.
24 It depends on your company and the way you function if that
25 is really the case. Many companies, such as ours, when we

1 develop and design a product it doesn't necessarily go away
2 with a new design that comes out. Sometimes the new design
3 will be an addition to. You know, a customer, they have a
4 particular model, it is maybe an older model and they will
5 continue to want to sell that. So just because you come out
6 with a new trimmer or clipper you may have other retailers
7 that may want to keep the older one or they may want to put
8 both in to give the customer more opportunity. So they
9 don't always just go away just because you come out with
10 something new. So I kind of wanted to eliminate that there
11 is always going to be something new to replace it.

12 It also says that changes to product molding is not
13 required. And that is simply not the case. The one example
14 that ECOS actually gives, that's actually our trimmer. We
15 were able to adopt the lithium circuitry into the trimmer.
16 However, I have other products that are much smaller than
17 that and have no PC board in them at all. So to say that
18 tooling wouldn't be required and that housing could be
19 accommodated in something that doesn't even have a PC board
20 in it right now, it's impossible to do. So it depends on
21 the product. Yes, there are some that can be adapted such
22 as that one that is shown up on the screen. But there are
23 other ones that cannot be adapted. So it is not a fair
24 statement to say that changes to product molding are not
25 required.

1 That also goes along with, you know, components that
2 are smaller can be fit on existing boards. If you have a
3 board in there, there is probably a good chance that you
4 might be able to fit the components onto the existing ones.
5 You know, the surface mount components are small. But it
6 has to be done on a case by case basis.

7 In addition, the mark-up costs that are being thrown
8 around - and I stated in the last workshop that we had - are
9 not correct. And I have a question. Did anybody from ECOS
10 consult any of the retailers regarding cost mark-up and what
11 was their answer? My feeling is that if they would have
12 asked the retailers what their mark-up was you would know
13 that the numbers that we are throwing around are not
14 correct. And I'm not saying you take my numbers, I'm saying
15 to ask the retailers, you know, What are your mark-ups when
16 you are purchasing it from an OEM versus retailing it, what
17 are your mark-ups? And all I'm saying is that if you are
18 taking the base cost of components to make these changes -
19 let's say it's thirty to forty cents - and then the
20 manufacturer has overheads and stuff that he has to apply -
21 so let's say that doubles to - normally that does double
22 with the overheads and labors. So now you are up to sixty
23 to eighty cents. Now when you take that product you've now
24 increased that product by eighty cents and you sell it to a
25 Target or a Walmart or a K-Mart their costs are going to

1 approximately double again with the retailer's mark-up. So,
2 you know, you can't take raw cost of five cents and say this
3 is what it is going to cost your consumer. That is not
4 realistic and not feasible.

5 In addition, another statement on that slide was
6 full safety testing unlikely required with these changes,
7 turnaround likely four weeks. If you have a product that is
8 currently UL- or ETL-approved normally your retailers want
9 to continue to have that product UL- and ETL-approved. Just
10 because you redesign it doesn't mean that no longer are the
11 approvals required. With all the lead in the paints, the
12 drywall issue, the dog food issue, you know, retailers want
13 to know that the products that they are selling are safe.
14 Even if they are low voltage they still want to know that
15 they are safe. So if you make a change in the circuitry or
16 the design, and especially if you go from nickel-cadmium or
17 nickel-metal hydride to lithium, they are going to want to
18 know that those are approved products and have been tested
19 by a third party safety organization. The four weeks is
20 pretty aggressive. I would challenge you to call UL and ask
21 them to give you their timelines that they have even for
22 small personal care appliances from the start of the project
23 to the finish. And in most cases if you look at projects
24 they are longer than four weeks. I would say they range
25 more from six to eight weeks.

1 So I want to go back to the proposal as far as what
2 has been done. I appreciate the Commission and the proposal
3 that they have done as far as combining the no-battery and
4 the maintenance mode together. What I would like to propose
5 - and it was alluded to a little bit in Ken's slide and also
6 in Larry's slide - is that for the small units that have a
7 very small double-A battery, such as the unit that you're
8 seeing up on the screen now, those battery capacities are
9 extremely small, normally around anywhere from 600 milliamps
10 to 1200 milliamp-hour. So when you put them into the
11 formula of the 12 plus 1.6 times the Eb, because the Eb is
12 so small it doesn't gain you anything.

13 And so what I'm proposing is from the zero to five
14 watt-hour batteries, which are still very small batteries,
15 that the formula - we could do it one of two ways and I'm
16 open to either one. Either the formula could be modified -
17 and if we modify the formula my recommendation would be
18 instead of 12 to move that to 16 plus 1.6 times Eb - or to
19 have a floor level of just saying 20 watt-hours. Either one
20 would be acceptable for me. And, again, this is just for
21 the zero to five watt-hour batteries.

22 And the reason I bring that up is because I did some
23 testing on my products. And I have two products, basically
24 one in the maintenance mode level does not exceed more than
25 - it is 0.645 watts, that's what it is. 0.645. And I have

1 another one that is 0.748. Both of those with the formula
2 the way it is now would not be compliant. I mean, they are
3 very close to being compliant with the levels but they would
4 still fail. The levels that they would have to meet for the
5 0.645 watt would be a total of 14.3 and my appliance is
6 15.8. So I am very close. The other one, the requirement
7 would be 16.06 and my product is 18.52. So you can see I'm
8 very close. And the duty cycle, which we haven't brought up
9 too much at this point in time. But the duty cycle on those
10 products is very low but in addition the level of compliance
11 versus not is very, very close.

12 And then the last thing that I want to bring up at
13 this point in time would be the effective date. And I have,
14 I guess, some things for the Commission just to think about
15 with the effective date. It appears right now, unless you
16 don't take any time for any of our comments, you are going
17 to be beyond the July date for when you guys wanted to
18 finish. So you guys are probably looking at, I would say,
19 probably August or September maybe before you would have
20 things done. So what I'm saying is that, because you have
21 the Christmas retail season, it would be much better for us
22 if we could push through all the product and have the design
23 changes effective for January of 2013. The second reason
24 for that is because if we do need - which we are going to
25 change some of the products, then you would have a clean

1 break for price increases to your retailers. Where right
2 now if you make the effective in September, October, you
3 know, we as manufacturers have to decide do we eat those
4 price increases that are taking on with additional
5 components or do we try to go to the retailers at that
6 point. It's usually very difficult to try and do that in
7 the middle of the thing. So I would ask that, you know, if
8 you could push it to January at least it gets us through the
9 retail season and all the products starting as of the
10 January 2013 then would be manufactured compliant.

11 So that's all I have at this point.

12 COMMISSIONER DOUGLAS: Thanks for those comments.
13 I was going to ask, could you just identify your name and
14 title and company for the record so that we have that?

15 THE REPORTER: Mr. Habben gave me his card.

16 COMMISSIONER DOUGLAS: He gave you his card? Okay,
17 so you will put it in.

18 THE REPORTER: Yes.

19 COMMISSIONER DOUGLAS: Okay, well, never mind then,
20 that's fine. And you asked a couple of questions about the
21 methodology for how we calculated savings and to what extent
22 and how we took into account the uses of the various
23 products in that calculation. And I wanted to see if either
24 ECOS or staff wanted to give you - I mean, we could say go
25 back and read it, but we are all busy. So if somebody could

1 give you the one-minute version would it be helpful?

2 MS. PORTER: Ken, you should feel free to chime in
3 here as well. This is Suzanne Porter, representing the IOS
4 Codes and Standards group. In response to your question
5 regarding substance in the numbers, first of all I wanted to
6 recognize that we heard your comment from the last March
7 meeting and the IOU statewide team actually recommended a
8 slightly less aggressive duty cycle for the product category
9 that trimmers occupy and recommended that the Commission
10 incorporate that into their energy savings model. And at
11 this point the model and the changes that are being made as
12 a result of the pre-rulemaking activities are being handled
13 by Ken Rider and the other part of the Energy Commission
14 staff. And my understanding is they have a model up online
15 for careful consideration, including duty cycle and so
16 forth. It's a pretty simple model so it can easily be
17 reviewed and I would encourage you to do that.

18 The other thing about the substance of the numbers
19 that I just wanted to say is, in terms of the way we
20 calculate the number of household energy savings, an average
21 electricity use of the California household is about 6660
22 kilowatt hours per year and that's the value we used for the
23 presentation.

24 MR. HABBEN: So is that just an average household?
25 You combined obviously large and small and that's just the

1 average that they go across the whole state?

2 MS. PORTER: That's correct. It's a household
3 average electric use. So it's meant to represent the
4 magnitude. You know, sometimes it's hard to put our heads
5 around what is this many gigawatt hours or that many
6 gigawatt hours. But this just helps us to get a sense of
7 the order of magnitude in terms of the savings that we are
8 looking at. So that was the specific number used. I also
9 just want to emphasize there is a lot of substance to the
10 numbers that we put forward and we have been providing those
11 to the Commission.

12 MR. HABBEN: Just another comment. Could you
13 comment on the mark-ups? I know you said you used from DOE
14 but I was wondering if you guys did any more additional
15 research regarding product mark-ups.

16 MS. PORTER: The CASE report was prepared before
17 the US Department of Energy released its preliminary
18 analysis. And we for that methodology actually
19 overestimated the mark-up of about two times the bill of
20 materials cost. Since that time - and we made
21 recommendations that the Commission incorporate this into
22 their energy savings values as well - the US Department of
23 Energy released its preliminary analysis and their
24 methodology for conducting the mark-ups was much more
25 extensive than ours. It included interviews with

1 manufacturers, it was by product category, and it was
2 superior to the methodology that we had used in the original
3 report.

4 And so for all subsequent analyses that we presented
5 as a part of these rulemaking activities and for
6 recommendations to the Commission in the March comments we
7 recommended the DOE methodology, which includes mark-ups of
8 manufacturer's sales price, manufacturer's sales price to
9 retail, as well as tax. And so the numbers that you saw on
10 page nine related to the power tool and the numbers that
11 were represented in the March 3rd workshop were the product
12 of all of those compounding mark-ups from level to level
13 throughout the market chain, including tax to the consumer.
14 So if you have concerns about DOE's methodology itself I
15 would encourage you to give them those comments. But that
16 was the best available information that we have on this
17 product in terms of mark-ups at this time. And so that's
18 what we incorporated into the analysis.

19 MR. HABBEN: So just for the record I would comment
20 that, you know, as of right now we believe, based upon what
21 is reality in the real world, that the mark-ups being used
22 are not correct. I can't say that extensively across all
23 categories but from what I know as far as what the real
24 numbers are that is incorrect.

25 And then one last question I have for you, Suzanne,

1 is regarding the cost of the components. When you guys are
2 gathering the cost that it takes to incorporate these
3 changes and to improve the products, the quoting of those
4 components, how is that done and what quantities is that
5 pricing based on?

6 MS. PORTER: So as quantities of these electrical
7 components increase, the cost goes down considerably. And
8 at very low quantities, like 2500, the cost is fairly high.
9 But as DOE indicated in its own analysis of battery
10 chargers, once you reach a certain point, shortly thereafter
11 there are price differences but it doesn't go down very
12 rapidly once you reach a certain point. So estimates that
13 we used are based on tens of thousands of quantity. So it
14 is well within the types of quantities we would see within
15 the State of California, particularly for consumer products
16 that sell in vast quantities from discount retailers.

17 MR. HABBEN: So I guess my comment on that is that
18 when you're talking tens of thousands, you know, there might
19 be certain models that you may sell tens of thousands of.
20 But there are a lot more models where there is going to be
21 other small retailers. And I want to explain a little bit.
22 Normally if you have a product that a retailer such as
23 Walmart is taking, normally there will be other smaller
24 retailers that won't want to sell the exact same unit
25 because they know that they can't compete on the same price.

1 So what they will do is they will take one of your other
2 models that has basically the same function but may look
3 different and may have a completely different circuit board
4 design or whatever. And, obviously, those quantities are
5 much smaller.

6 And so you don't want to not sell the smaller
7 products to not meet the needs of the other retailers or
8 competing retailers or the smaller guys. So I guess we just
9 have to be careful when we are throwing these extremely low
10 numbers to make these cost designs that there are products
11 out there where you are not going to be selling tens of
12 thousands. You know, it may be ten to fifteen thousand
13 pieces a year instead of, you know, a hundred thousand
14 pieces.

15 COMMISSIONER DOUGLAS: Well, thank you for your
16 comments and your questions and for being here. We invite
17 you to submit further comments on mark-up and on anything
18 else that you would like to. Dennis?

19 MR. BECK: Commissioner, this is Dennis Beck from
20 the Chief Counsel's Office again. Let me make an important
21 point here. One of the things that we have asked for in
22 subsequent workshops is when assertions are made such as the
23 incremental cost and what people in the industry believe to
24 be the true case and when they believe that what is in the
25 CASE report or what we have in our analysis in the staff

1 report is incorrect. What we really need is data that we
2 can evaluate these claims as best we can.

3 I know that a number of businesses and industries
4 are very reluctant to submit that information because it is
5 business proprietary information. But we do have a
6 confidentiality process. Mr. Erdheim, who is in the
7 audience today, availed himself on behalf of Philips of that
8 process and that is in the process of being - that
9 confidentiality application is being processed right now and
10 my understanding is that it eventually will be approved. So
11 there is a process by which industry, if they do have data
12 that supports these claims where they don't want it
13 necessarily to become public, you can avail yourself of that
14 confidentiality application process. And that is set forth
15 in the data request that we sent out a few months ago.
16 That's really what's going to help us make an evaluation, if
17 we have that data.

18 COMMISSIONER DOUGLAS: Yes.

19 MR. HABBEN: This is Rick from Wahl again. I got
20 the initial form from Ken, that confidential form process.
21 I would like to stress, I thought it was going to be a
22 simple form that you kind of sign off. Your form is very
23 lengthy, cumbersome and complicated. And I would urge you
24 to streamline it to encourage more data being submitted.
25 Right now it just is very detailed and that's why I have

1 been working with Ken and Harinder via phone and trying to
2 supply to them what I could without going through that
3 process. But I think Ric Erdheim did send in some stuff,
4 but I think it is still held up in your review and that has
5 been a little while. So I would just encourage you to do
6 what you can to try and improve that.

7 MR. BECK: I believe the Philips application was
8 submitted on the 9th of this month and under the Title 20 we
9 have 30 days to make a decision on the request for
10 confidentiality and to inform the person making the
11 application. So I think we should be making that
12 notification, that decision and notification, well within
13 the 30 days.

14 COMMISSIONER DOUGLAS: All right. The next card is
15 Ric Erdheim, Philips Electronics.

16 MR. ERDHEIM: Good afternoon, Commissioner, Mike,
17 Ken. Thank you for the opportunity to comment. My name is
18 Ric Erdheim, I am Senior Counsel to Philips Electronics. We
19 are the world's largest lighting company. I believe,
20 Commissioner, you are familiar with some of our lighting
21 products and I know you've seen our 60 watt LED bulb. This
22 week at Light Fair we announced that we will have a 75 watt
23 replacement LED bulb. And I think at the trend you could
24 see we will probably have a 100 watt bulb pretty soon.

25 We were discussing earlier today amongst some of

1 industry members who had more products that were affected by
2 this regulation. And I'm not sure we came to a conclusion
3 but I would argue Philips is in the lead. We have our
4 consumer electronics and shaving products, Norelco shaving
5 products that you are probably familiar with. We have
6 inductively charged Sonicare toothbrushes. We have exit
7 signs and emergency lighting, which you have heard something
8 about today. We've got medical devices such as sleep apnea
9 machines and automatic external defibrillators. And so this
10 has been an interesting process for me trying to represent
11 all of these different groups at Philips to provide you with
12 comments.

13 We appreciate this additional workshop. We have
14 worked with staff - I think Ken and I have become pen pals -
15 dealing with many of these issues. I'm pleased to say that
16 staff has addressed many of our concerns but we still have
17 concerns that others will be raising. You've heard some of
18 them already: effective date of the standards, standards
19 for small battery chargers with nickel chemistries,
20 infrequently charged products. And I would just add in,
21 this is probably the first hearing I've come to - and I've
22 come to many - where I wasn't waving my beard trimmer, which
23 I use once a week, charge maybe four times a year for three
24 hours at a charge. If I'm lazy and don't get it at three
25 hours maybe it goes up to four or five hours. So it gets

1 charged maybe one day a year. So it really doesn't matter
2 how efficient you make the battery, the energy savings for
3 that product are minimal. And also some of the labeling
4 issues which I raised at the last hearing.

5 I'm not going to repeat those comments. I will be
6 submitting comments again and others will be talking about
7 it. I want to focus on emergency lighting, which is an
8 issue that no one else is going to be talking about. We
9 appreciate that the staff has proposed to exempt exit signs
10 but the proposal would continue to regulate emergency
11 lighting products. And just so we are clear, emergency
12 lighting products provide emergency illumination to the
13 egress point, whereas the signs show a change in the egress
14 direction.

15 Now, the proposed energy levels in the proposal are
16 below those that would be necessary for most of our existing
17 emergency lighting products. Unlike other products subject
18 to the regulation, emergency lighting products are heavily
19 regulated, they are in all the building codes, it tells you
20 exactly what type of light you have to provide in what area.
21 Unlike other products in this proposal, emergency lighting
22 performs essential life safety functions. And unlike other
23 consumer products, our product scope is not going to be
24 regulated by the Department of Energy. So I know from past
25 discussions with the staff that there is concern about

1 getting these regulations done before the DOE so that they
2 are not preempted. You don't have that issue with these
3 products. They can be regulated at any time if you so
4 choose.

5 Now, our concern goes back to the original CASE
6 report, which called for regulating these products. But
7 unfortunately it did so without understanding the nature of
8 the existing regulatory requirements which already apply for
9 emergency lighting products. It simply examined the
10 efficiency of a low end product. And ironically you saw
11 that product in the presentation that NRDC made. It was the
12 fourth one, it was a low end emergency lighting product.
13 And by saying, well, that product could achieve the standard
14 therefore all emergency lighting products could meet the
15 proposed standard. And the fundamental flaw in that is that
16 emergency lighting products are not regulated as a product.
17 What you regulate is the amount of light put out in an area.
18 You can achieve that by one product, two products, ten
19 products, any number of products. But it's not the product
20 that you are focused on, it's the light in a certain area.
21 It is measured by foot candles. So that's what the focus
22 is.

23 So when you look at a product you ignore the
24 existing regulatory requirement of focusing on light in a
25 certain area. And in fact we provided the staff as non-

1 confidential data with an analysis showing that if you took
2 that product that was shown in the NRDC proposal you would
3 need nine of those to provide the light that would be
4 necessary for two of our standard products. And then when
5 you actually added up the energy used in those nine products
6 versus the two of ours you would be using double the amount
7 of energy to provide the light that was required for by the
8 standards in a certain area. You would need double the
9 energy that our two products would provide but on a product
10 basis those two products are much higher. But you only need
11 two of them as opposed to nine of the low end products.

12 So we think when you establish a standard for
13 emergency lighting by product you simply fail to understand
14 the existing regulatory requirements, which focus on
15 providing light in an area. I think the concepts - we would
16 request that emergency lighting be exempted from the
17 standards. I don't think this is a radical solution. Last
18 year, in fact, the Congress exempted all life safety
19 products from the external power supply standards, federal
20 external power supply standards. But even if the CEC
21 decided that it wanted to continue working on this - and we
22 have been working with Ken - and I would say in response to
23 Dennis that we have supplied confidential data on this.
24 But, just to make the record clear, it took me a long time
25 to gather all the information. It is not an easy process to

1 go through. I realize this is not the right forum, but I
2 hope you would consider reforming that process.

3 But even if you decided you wanted to continue
4 looking at emergency lighting we would note that, again,
5 there is no rush to judgment, there is no preemption that is
6 coming from the DOE. And we think that you should separate
7 emergency lighting from this rulemaking and consider it
8 separately.

9 Now, the proposed requirements also have lighting
10 controls in them. And we noted that there are no comments
11 on lighting controls so we are not going to talk about them.
12 And at the last workshop that we had Gary Flamm from the
13 staff talked about how he sat down with the National
14 Electrical Manufacturers, who represent the lighting control
15 manufacturers, including Philips, and worked out this
16 standard such that there are no comments because everyone is
17 onboard with that. And what asked Mike at the time was, why
18 don't we have that type of process for emergency lighting?
19 Maybe there is something that can be done. Our initial
20 thought is probably not, but we are willing to sit down and
21 go through that. But what we face now is, well, we've got
22 to get these regulations out because we are going to be
23 preempted from the DOE. So we are rushing through to get
24 these things out without a full understanding of the
25 regulatory requirements affecting emergency lighting.

1 So I thank you for your attention. I would be happy
2 to answer any questions.

3 COMMISSIONER DOUGLAS: Thank you for your comments
4 and for being here and for submitting data under that
5 process. If a few more people say that, you know, I will
6 rush out and try to figure out if we can make it easier.
7 But it's important to us to get data, it's important to us
8 to have information that we can really analyze and
9 understand.

10 I have one question for you. I have to say I am
11 familiar with your LED bulbs but I'm also familiar with the
12 incandescent bulb that Philips makes that is compliant with
13 our lighting standards and is one of the examples of why
14 Thomas Edison is alive and well. So, you know, I'm just
15 trying to understand your example of emergency lighting
16 where, say, two high end units might produce -

17 MR. ERDHEIM: Because of the amount of light.

18 COMMISSIONER DOUGLAS: Absolutely. But what I'm
19 trying to understand is, you know, we are regulating the
20 battery charger not the product. And so my instinctive
21 reaction to that is, regardless of whether it's a high end
22 light or a low end light, we want the battery charger to be
23 more rather than less efficient. So maybe you could help me
24 understand the point of your example.

25 MR. ERDHEIM: If you have two products instead of

1 nine products you are probably going to be drawing more
2 energy per product. And in fact they do draw more energy.
3 So if you base the standard on that low end product and say
4 you can only draw the amount of energy used for that low end
5 product you won't have the amount of energy you need for the
6 higher end product.

7 COMMISSIONER DOUGLAS: Are you saying that in this
8 case with emergency lighting the higher end product has a
9 battery charger that needs to draw more energy - okay, you
10 know, does it need to use more energy in maintenance mode,
11 does it really need to charge when the battery is - you
12 know, you get into some of the same questions about why any
13 charger shouldn't be able to be more efficient.

14 MR. ERDHEIM: So the proposal only would regulate
15 maintenance mode, right, Ken?

16 MR. RIDER: Yes.

17 MR. ERDHEIM: Okay. So the proposal would only -
18 so we're only talking about maintenance mode. As I said, we
19 would be willing - I speak for Philips, I can't speak for
20 all of NEMA - but we would be willing, and we have had some
21 meetings, and I know Ken said he wanted to have more
22 meetings. I think the problem is that we are talking about
23 a fundamentally different area, we are not talking about a
24 product. We are talking about light in an area, which can
25 come from one product or from ten products. And that makes

1 the calculation much more difficult.

2 We are willing to sit down with the staff and see if
3 there is some way to save more energy. My experts are
4 telling me they think not. But we are willing to sit down
5 and go through that. But that's going to take some time,
6 it's going to take some focus. I know Ken and Harinder and
7 Mike are dealing with all the different companies, all the
8 different industries. You've heard from some of them and
9 you are going to hear from about, well, that doesn't work
10 for my area. And I think being in this process where we are
11 rushing because we want to beat the DOE proposal, we're
12 concerned about preemption, I think because we don't have
13 that issue I would suggest that we take this out of that
14 proposal and see if there is something more that can be done
15 in terms of efficiency.

16 I hope I don't have to convince you, Commissioner,
17 of our commitment to energy efficiency, given the lighting
18 products that you've seen us develop and take the lead on.
19 But we've got to do it in a way that makes sense. And we're
20 dealing not with a - you know, it's one thing if you say I
21 can't sell a low end grooming product, the world is not
22 going to end. But I don't think we want to be messing
23 around with banning large types of emergency lighting. So
24 did I respond to your question?

25 COMMISSIONER DOUGLAS: That was helpful. And I'm

1 sure we will get more information from you, so we will look
2 at it.

3 I do want to say one thing. In characterizing this
4 process as rushing to beat a deadline, I don't really see it
5 that way. You know, there is a timeline that we are on, we
6 are willing to take a little more time if we need to make
7 sure we've got it right. We did take time by having this
8 workshop. And, you know, depending on the detail and depth
9 and amount of information and comment that we get out of it,
10 we will take the time it takes to get through it.

11 MR. ERDHEIM: Again, I do appreciate that you have
12 had this workshop. I'm simply reflecting comments that
13 staff has been pretty candid about that, you know, we have
14 this preemption and we want to act beforehand. So if my
15 characterization of that is troubling to you, I withdraw the
16 characterization. But clearly acting before DOE acts is
17 something that is on the mind of the Commission and the
18 staff, that's what I was referring to. We don't have that
19 same issue for our products, we don't have that same issue
20 for the Motorola products that we're talking about and
21 probably a lot of other products.

22 COMMISSIONER DOUGLAS: Well, thank you for your
23 comments and thanks for being here. And we will definitely
24 take a close look at the information you submit.

25 Next is Jennifer Cleary from AHAM.

1 MS. CLEARY: Hello. Jennifer Cleary with the
2 Association of Home Appliance Manufacturers. I am the
3 Director of Regulatory Affairs and previous to joining the
4 staff I acted as legal counsel to AHAM.

5 First, I would like to also thank the Commission for
6 making amendments to the original draft proposal. Although
7 we still have a number of concerns, such as the failure to
8 take into account frequently charged products, product
9 categorization and usage factor, we certainly think that
10 some of the proposed amendments we are discussing today are
11 a good first step. Nevertheless, we continue to question
12 why CEC is engaged in this rulemaking at all with regard to
13 products that will soon be covered by the Department of
14 Energy standard.

15 CEC should not be pursuing those proposed or any
16 battery charger standards for products that will soon be
17 covered by DOE. DOE is in the process of their rulemaking
18 on many of the very same products that are proposed to be
19 covered in the scope of CEC's proposal. This rulemaking
20 must be completed per statute by July 2011. I think we all
21 recognize that that date will not be met. However, we have
22 heard from DOE as recently as this week that it plans to
23 release the final test procedure this week or very shortly
24 thereafter and that a standards NOPR could follow as soon as
25 one month from today - or not from today but as soon as

1 approximately one month from now.

2 Therefore, CEC should only consider rulemaking for
3 products that are not within the scope of the DOE standard.
4 It is a waste of CEC resources and everyone's resources
5 especially in these economic times, it's not justified. You
6 should not be forcing manufacturers to retool for a
7 California standard to only then potentially retool again
8 for a federal standard. Furthermore, I think that the July
9 2015 potential effective date for DOE that was mentioned
10 earlier is most likely an overstatement given the timeline
11 that I mentioned I heard from DOE this week.

12 Secondly, if CEC does pursue this rulemaking we
13 request that it change the effective date. This has been
14 discussed earlier today. The CASE report recommended two
15 years for manufacturers to source component and change
16 designs. And AHAM has predicted that that compliance time
17 could take longer. Under that timeline, of course, the need
18 for a CEC regulation becomes even less clear. Similarly, we
19 wonder, as others have, whether CEC intends to stay on the
20 timeline previously shared. I think today it has been
21 indicated that you do not, which we would support. Because
22 otherwise we would think the 45-day rulemaking would need to
23 come out before the time to consider many of the comments
24 that have been made today. So we appreciate Commissioner's
25 earlier statement to take the needed time. We support that

1 approach and hope that CEC will not rush the rulemaking
2 process simply to beat DOE to the finish line. Also we echo
3 comments that were made earlier today that if the effective
4 date is going to be later than July for CEC that you
5 consider the busy seasonal buying season before setting the
6 effective date.

7 Regarding the specific proposals that were made and
8 are being discussed today, AHAM supports removal of the
9 power factor. This will closer align and allow
10 harmonization with DOE. We also support the combining of the
11 maintenance and no-battery modes. We continue to believe,
12 however, that the best approach is one metric that includes
13 a usage factor. The metrics cannot be further combined from
14 the current proposal without including that usage factor.
15 DOE is likely to use a usage factor and to use one metric
16 and we would support a similar approach under CEC.
17 Furthermore, the Warren-Alquist Act requires consideration
18 of the usage factor. Regulations must be based on a
19 reasonable usage pattern. Therefore, CEC should work harder
20 to understand the usage patterns. We understand it's very
21 difficult to do so, especially given the wide range of
22 products being considered in this rulemaking. But in order
23 to properly justify one standard it's necessary to do so.

24 Furthermore, if CEC does proceed with a multi-metric
25 standard like it has proposed to do the levels in the

1 equations need to be revised. The proposed amendments, as
2 have been discussed extensively today, will eliminate
3 nickel-based chemistry chargers for battery energies above
4 about 20 watt-hours. CEC has appropriately stated that it
5 does not wish to eliminate such products. Nickel-based
6 systems are in a large number of home appliance systems and
7 are safe, durable and effective. Even at the amended
8 levels, as Larry Albert explained earlier today, many
9 products will be required to shift to a lithium-ion battery
10 chemistry in order to meet the standard. While we don't
11 disagree that improvements need to be made to many nickel-
12 based chemistries and that more efficient technology can be
13 used, a total shift in technology should not be required by
14 a standard. I don't think CEC would want to find itself
15 undergoing the same criticism that Congress has been giving
16 DOE for the supposed elimination of the incandescent light
17 bulb or the top load washer. It's not a good position to be
18 in and we fear you could be headed on that path.

19 Requiring elimination of the nickel-based
20 chemistries to meet the standard does not meet the Warren-
21 Alquist Act's requirements that efficiency levels be based
22 on feasible and attainable efficiencies. Therefore, we
23 propose some amendments to the smaller battery charger
24 equation for 24 hour energy. We will provide the details in
25 our written comments as well as technical substantiation for

1 that. They have been discussed previously today and in some
2 amount of detail. But essentially there would be very
3 minimal energy savings to be found there. And so we think
4 that these adjustments will be appropriate. Also, we
5 suggest some changes to the maintenance mode and no-battery
6 mode equation to account for efficient nickel-based
7 chemistries.

8 Moving on to the labeling requirement, something
9 that hasn't been discussed extensively today. AHAM opposes
10 the labeling requirement as it has been proposed. A label
11 typically serves one of two purposes. One is to
12 differentiate a product in an instance where there are more
13 than one standard, like a UL and CSA, which one it complies
14 with; or, two, to differentiate products that are under a
15 voluntary standard. Neither of those purposes is served
16 here. CEC is proposing a mandatory standard. Furthermore,
17 compliance will be adequately demonstrated through the
18 certification requirements, not only to CEC but to consumers
19 as well who will be able to view the products that comply
20 with the standard. The label will only add cost and burden
21 without any corresponding benefits to consumers or the CEC.
22 It will also be superfluous and confusing when DOE preempts
23 the standard.

24 Regarding the test procedure changes, just a couple
25 of quick comments. AHAM supports the clarification that has

1 been proposed that single phase battery chargers are to be
2 tested at 115 volts at 60 Hertz and are not required to be
3 tested at 230 volts at 50 Hertz. We also have a couple of
4 questions that perhaps can be answered today. First, will
5 the test procedure continue to be copyrighted? We
6 understand that once it's adopted by California the rights
7 would need to be relinquished to that. We would support
8 that. Also will the test procedure be fully memorialized in
9 the rule once it's adopted? We would support that so that
10 any changes that are made to it should undergo a formal
11 rulemaking process.

12 Finally, I just want to address some of the
13 conversations about data that we've been having. We agree
14 data should be the basis for all decisions and certainly
15 industry should support its positions with data as well as
16 the Commission. From an association perspective, it's been
17 very challenging in this rulemaking to provide data from our
18 members because we need to aggregate it, you know, to
19 address antitrust concerns. So with all of the products we
20 cover being lumped into one category, you know, from a
21 toothbrush to a clipper to a hand-held vacuum, it's very
22 hard to figure out how we could include that data together
23 in any meaningful way to the Commission.

24 So we've been wrestling with that and that's one
25 reason you haven't seen data from us. But I hope you have

1 been getting it from our members. We have, however, heard
2 from a number of our members that the burden association
3 with the confidentiality process in some cases is
4 prohibitive. You know, you've heard mention that it takes
5 significant time to prepare that and that in addition the
6 30-day decision time, sometimes it seems like perhaps the
7 decision on the rule will be made before that 30 days ends.
8 So we would urge CEC that if you know there is a request
9 pending in the general counsel's office for a
10 confidentiality determination that any finalizing of the
11 rule or proposed 45-day rule be delayed until there is time
12 for that determination at general counsel's office to be
13 completed and for the confidential data, if in fact it's
14 deemed to be confidential, to be reviewed.

15 So thank you for the time to make the comments.

16 COMMISSIONER DOUGLAS: Thank you. Can we have any
17 help with the questions that she asked?

18 MR. BECK: Dennis Beck again from the Chief
19 Counsel's Office. One thing I would like to note, though,
20 in terms of the confidentiality. We would encourage people
21 if they are going to seek this confidentiality privilege
22 that they make sure that they get their application in as
23 soon as possible and not wait until the 45th day and then
24 submit a confidentiality application. You can understand
25 that that might raise some eyebrows, as you can imagine.

1 The confidentiality process - first of all, I didn't write
2 it so you can't blame me for its cumbersomeness. But just
3 to let people know, we have a Public Records Act here in
4 California that's I think even more extensive than, say, the
5 Freedom of Information Act on the federal level. And in
6 that application process we need to have information that
7 clearly shows that the information would fall outside of the
8 parameters of the California Public Records Act. So that's
9 why it would appear cumbersome even to the non-layman, even
10 to attorneys like yourself and Mr. Erdheim. But that is the
11 reason why there are so many questions that have to be
12 answered so we can make sure that when we get it and it's
13 approved that it will not be disclosed via a Public Records
14 Act request.

15 COMMISSIONER DOUGLAS: Thank you for your comments.
16 I think that at a high level if we thought we were wasting
17 our time by being here because of DOE's rulemaking we
18 wouldn't be here. There are substantial potential savings
19 in the time that this would be in effect and, of course,
20 these appliances would be in California into the future.
21 And that said, I want to make sure the stakeholders here
22 understand that, you know, we are doing what we can to have
23 some convergence between our rule and what DOE would
24 require. And it would be at least my hope that compliance
25 with California's standard would mean compliance with DOE's

1 standard. So at the point in which DOE issues a NOPR we
2 will be more able to be certain that that's the case. But
3 that's the kind of operating assumption here.

4 So I don't think that anyone here is expecting to
5 require multiple redesigns due to state and federal law.
6 And, of course, we will have to see how that develops. And
7 the stage of the process that we are in right now is
8 refining our approach and hearing from you on our approach.
9 So all of the comments in that vein are very helpful.

10 Henry Wong, Intel Corporation, you will be next.

11 MR. WONG: Thank you for putting this workshop
12 together. My name is Henry Wong. I am a Senior Power
13 Technologist at Intel. My current role after 25 years of
14 being in power management techniques, many of which you use
15 today, is currently working with other agencies such as the
16 Energy Star Program, the European Energy Commission on their
17 ERP regulations and so forth. I also just recently came
18 back from working with some of our colleagues or some of the
19 agencies in China as well as Korea. And one of the items
20 that we work on is essentially energy efficiency
21 specifications and requirements.

22 And I did want to go ahead and highlight some of the
23 items that are of concern for us in the industry, both from
24 Intel and I see that there are a number of my fellow
25 colleagues from the Information Technology Industry Council

1 online as well and they might add additional comments
2 afterwards. One of the first things that I would like to do
3 is to caution the Commission on ignoring some of the non-
4 battery-charging functions, actually ignoring some of those
5 very functions that allow us to save long-term energy in
6 these components. The power management activities that we
7 put into these devices as well as the technology advances
8 that we've put into them constantly reduce the net energy
9 consumed by these products. And actually, I think, ECOS
10 consulting on their different arm did a study for the Power
11 Advisory Council, the PIER equivalent supporting the
12 California Energy Commission, that demonstrated exactly that
13 and how for notebook computers and things of that nature
14 that the energy consumption was rapidly coming down all on
15 its own without any regulations whatsoever.

16 In looking at that one of the items that we are very
17 familiar with in the computer industry is this notion of
18 unintended consequences. By squeezing some of the power
19 limits, if you will, on some of these low power modes what
20 it tends to do if you don't do it correctly and you ignore
21 those ancillary functions, the non-battery-charging
22 functions, is that it causes users to go into higher power
23 modes. You won't turn off your computer or you won't let
24 your computer turn off if it takes too long to wake up. So
25 you really have to be careful, especially as we put in all

1 of this intelligence into the systems, to not create
2 standards and limits that actually encourage larger energy
3 consumption activities.

4 So with that said, one of the things that was
5 mentioned - because we spent some time early on talking to
6 Ken as well as to Vic over at the DOE with regards to the
7 testing methods as well as the limits being defined for
8 this. And I have to apologize for myself as far as Intel is
9 concerned in addition to some of the folks in the industry
10 for not engaging earlier. We had mistakenly - at least I
11 can say that for Intel - we had mistakenly tried to follow
12 the Energy Star battery charger specification, which
13 embedded functions or devices with embedded battery
14 chargers, like notebooks and netbooks and things of that
15 nature, were not in scope. So we didn't really pay much
16 attention to it until we were told that DOE was coming up
17 with it and then we traced it back to the California Energy
18 Commission. So my apologies for not coming back with
19 written comments earlier. But we did provide these written
20 comments that you see here and I think it's going to be on
21 the docket a little later on. And it is in the DOE docket
22 as well.

23 One of the key items - and I want to go straight to
24 the meat of this - one of the key items that we've
25 highlighted there is the need to go ahead and identify three

1 different modes of operation, especially with regards to
2 battery charging. One is maintenance, the other one is off,
3 and no-load. The current mechanism by determining sort of
4 the no-battery function gets confused between off and no-
5 load. If you look at the regulations that are applying to
6 Lot 6 or the off-power for computers - and I believe Pierre
7 Delforge from NRDC highlighted that as a half watt -
8 currently it is at one watt. And it is also defined to not
9 include a lot of the networking functions and the
10 maintenance functions that we anticipate will be necessary
11 when we are starting to look at the battery charging
12 effects. It is those functions that we would want to go
13 ahead and start to isolate between what's battery charging
14 and what is not.

15 And the reason it's important is because there are
16 other specifications that are being derived to address the
17 AC component, the grid component if you will, of these
18 computer systems. So as long as those exist you don't want
19 to go ahead and overlap it with a sort of competing set of
20 standards, at which point the industry will get kind of
21 confused as to which standard do they need to apply to,
22 especially when we start to integrate a lot of these
23 functions.

24 Our recommendation - and we actually provide a
25 mechanism for isolating these items - but the reason I

1 wanted this picture up there was to give you an
2 understanding on the different modes of operation for a
3 notebook and a mobile computing device, if you will, where
4 we've got charging occurring in this active mode, we've got
5 the off mode and then the no-load case where there
6 essentially is no load outside of the AC to DC brick that's
7 there. It is that center portion, if you can envision it -
8 and, Ken, can you move that up a little bit? Yes.

9 So one of the ideas that we've proposed here was to
10 go ahead - in order to isolate the functions of the computer
11 that are going to be pretty much AC-based is to either take
12 the battery out when that is possible or have it fully
13 charged, at which point there is no charging involved.
14 There may be a little bit of maintenance, which we can
15 probably isolate. But it will go ahead and identify how
16 much energy is being actually consumed by those management
17 functions outside of the battery. Now you've got the
18 battery isolated and you can apply those battery limits, if
19 you will, charging and discharging accordingly just on that
20 one piece since you have eliminated the functionality part
21 from the computer analysis. That's our primary concern and
22 proposal.

23 I do have other items that I want to go ahead and
24 check off here as well. One of which is a question whether
25 or not USB devices without an external power supply are

1 going to be covered. Because there are a lot of additional
2 devices that you may see or will see coming out that
3 basically will require you to hook it up somehow to a
4 computer and get it charged that way, through USB. Second,
5 accessories that include battery charging as a secondary
6 function. Third question is whether or not the BC marking
7 can be allowed to occur on the outside packaging. Current
8 devices, one, have very little room but also are beginning
9 to look like NASCAR. I mean, we've got labels coming out
10 the ying-yang on that stuff. And at least cosmetically it
11 is problematic and in some cases we have seen, you know,
12 labels and etches actually come off and become basically
13 litter. And that is just not worthwhile. Whereas if we can
14 put it on something like the packaging and so forth we know
15 it has compliance and so forth at that point and we don't
16 impede on either the aesthetics or the functionality of the
17 device itself.

18 There are other items listed in the feedback, things
19 like resolution and what I would consider misinterpretation
20 of some of the international standards. What I would advise
21 for the Commission is to go ahead and make sure that the
22 specifications and the testing requirements are consistent
23 with a lot of the international regulations and testings
24 that are occurring. One of the interesting items that was
25 discussed was duty cycle. Well, computer systems through

1 our work with ECMA-383 and I believe it's going to be IEC-
2 62623 are coming up with methods of determining typical
3 energy consumption, duty cycle, if you will. And although
4 it's not perfect, it's something agreeable amongst the
5 categories as well as the manufacturers of something
6 indicative of that class of component. Now, that's not
7 going to necessarily be applied to everything or all
8 different classes of devices but at least it sets the stage
9 for how we are trying to address this typical energy
10 consumption and provide the profile so we are looking at
11 energy as opposed to different power levels.

12 I think that's it. Thank you very much for your
13 time.

14 COMMISSIONER DOUGLAS: Thank you for being here,
15 thanks for your comments. Do we have anyone who wants to
16 hazard an answer to the three questions that were asked?

17 MR. RIDER: Yes, this is Ken. I will at least try
18 to address the USB question. The USB devices themselves are
19 currently proposed to be covered. And maybe Suzanne can
20 talk to the testing, but I believe that the test is past the
21 power supply. So it's assuming just a 5 volt input, which
22 is what a USB provides, and then test the USB device that
23 has the battery charger inside of it. So, you know, it
24 wouldn't be testing with the computer and then the USB
25 device, it would be taking that USB device, hooking it to a

1 kind of artificial USB power supply and then charging it
2 that way. So that answers that question, I think.

3 And then about the accessories, you mentioned - I
4 wasn't exactly clear what kinds of things you were talking
5 about in that case, like maybe an iPod charger that is built
6 into something?

7 (Mr. Wong replies off microphone.)

8 Okay, Henry just mentioned music devices and MP3
9 players and like an iPod charger that might be included into
10 another product. The test method requires the testing to be
11 done with the typical charge configuration. So unless a
12 laptop with a USB charger or an iPod charger comes with your
13 iPod then you are not going to test it in that condition.
14 You are going to test it with what is provided with the end
15 use product that has the battery in it. So if it's an iPod
16 or an MP3 player you are going to test that, if it's a USB
17 charger only you are going to test it with that artificial 5
18 volt supply or with that external power supply that the
19 manufacturer provides with that. You will not be testing it
20 with a television, let's say, or with a laptop. You are
21 going to be using it with what the manufacturer of that
22 accessory provides for charging.

23 COMMISSIONER DOUGLAS: All right, thank you, Ken.
24 I notice that there probably are people on the phone from
25 the East Coast who might want to make a comment. And even

1 though they occasionally start calls at five in the morning
2 and make us get up, I thought it might be a good idea to see
3 at least how many people on the phone are in that category.
4 Maybe if you could raise your hand if you are in a time zone
5 at which you would like to be going home for dinner.

6 COMMISSIONER DOUGLAS: Yes, I'm going to go ahead
7 and take Don Bartell. And I will take others later.

8 MR. BARTELL: Okay.

9 MR. RIDER: Don, you are live.

10 MR. BARTELL: Thank you, Ken. This is Don Bartell.
11 I'm the Chief Sustainability Director for Motorola
12 Solutions. As you and staff are aware, Motorola has
13 supplied technical data and had many fruitful discussions
14 with Ken. I realize that the focus of today's meeting has
15 primarily been on those technical aspects. But both ECOS
16 and NRDC made cost effectiveness an issue and we profoundly
17 disagree with their conclusion.

18 Frankly, for complex commercial products, non-
19 consumer products as ours the bill of materials is a very,
20 very small component of any changes we might have to do to a
21 charger to make it comply. The re-engineering costs and the
22 recertification costs that we would have to go through for
23 these complex devices far outweigh a couple of dollars that
24 we might have to spend in additional or different parts.
25 Our analysis of the increased cost to our customers compared

1 to the savings from lower energy use shows a negative cost-
2 benefit analysis. It's much less than one to one. We show
3 that the costs far exceed the benefits. The cost, for
4 example, of a typical hand-held bar code scanner could
5 increase as much as sixty dollars. And the energy savings
6 calculated over the entire life of the product would be in
7 the range of twenty dollars for a forty dollar net loss to
8 our customer. For two-way radios such are used in mission
9 critical applications, including those that would be used by
10 California's police and fire agencies, the increased cost is
11 in the range of twenty-five dollars with an energy savings
12 below nine dollars, again a net financial loss.

13 All of these things were detailed in our letter of
14 March 31st and in other conversations. And despite the
15 reassurances from Commission advisors and staff we really
16 haven't had a meaningful discussion of these cost-benefit
17 analyses discrepancies. And I ask when shall they occur,
18 when will we have those meaningful discussions?

19 COMMISSIONER DOUGLAS: Thank you for that question
20 and comment. You know, the staff has certainly looked at
21 your letter as has possibly the consultant. But let me ask
22 staff to give at least a high level response to some of the
23 issues raised.

24 MR. LEAON: This is Mike. Well, certainly we will
25 look at this issue further after this workshop. Let me ask

1 Ken if he has any feedback on the cost issue.

2 MR. RIDER: Yes, sure. This is Ken. I just want
3 to say, you know, the whole purpose of this workshop is to
4 discuss 16 changes or more that were made to the
5 regulations, the majority of which should reduce the
6 incremental cost at very little amount of loss of
7 efficiency. So we plan on reevaluating the model to account
8 for these losses in efficiency and changes in cost from a
9 less stringent approach and a more flexible design approach
10 that we presented today. And we can discuss that. I think
11 it has changed quite a bit from the March proposal. And so
12 I think we would revise that in our final staff report.

13 MR. BARTELL: Yes and, Ken, as Chris Paul - who is
14 there in the room - can tell you further, the changes that
15 have been made - and we are appreciative of those changes -
16 those changes have moved the redesign into the realm of
17 possibility. Prior to those changes it was unlikely we were
18 going to be able to make our products comply no matter what
19 we spent, no matter what we did. Now we are in the realm of
20 technically feasible changes. And Chris, I'm sure, can tell
21 you further offline, we are still going to have to redesign
22 essentially all of those chargers.

23 So while the bar has now been set at a height that
24 it is conceivable to reach, to clear, it is still going to
25 incur those chargers and those recertification and re-

1 engineering costs are going to far outweigh the energy
2 saving benefits. Thank you.

3 COMMISSIONER DOUGLAS: All right, thank you. I see
4 another hand up. Is it Joanna Mauer?

5 MS. MAUER: Thank you. This is Joanna Mauer with
6 the Appliance Standards Awareness Project. We support the
7 CEC moving forward on this rulemaking for standards for
8 battery chargers. And I just wanted to briefly comment on
9 the significance of the CEC rulemaking in the context of the
10 DOE rulemaking on battery chargers.

11 First, the CEC rulemaking has a broader scope than
12 the DOE rulemaking. DOE only has the authority to set
13 standards for battery chargers for consumer products, while
14 the CEC rulemaking is covering battery chargers for both
15 consumer and non-consumer products. And these standards for
16 non-consumer products will achieve long-term energy savings
17 for California. Second, California has the opportunity to
18 accrue savings for consumer battery chargers before the DOE
19 standards take effect, which can help California meet its
20 aggressive energy saving goals and reduce consumer
21 electricity bills.

22 Based on the effective date in the draft proposed
23 amendments regarding battery chargers, California would
24 accrue at least one year of savings before the DOE standards
25 go into effect. As was mentioned earlier today, DOE is

1 required by statute to publish a final rule for efficiency
2 standards for battery chargers by July 1st, although we
3 still haven't seen even a proposed rule published. DOE has
4 recently missed its legal deadline on amended standards for
5 residential refrigerators. The final rule deadline for
6 refrigerators was December 31, 2010 and we still haven't
7 seen a final rule published. And so therefore we would
8 encourage CEC to move forward on this rulemaking as the
9 timeline and the outcome of the DOE process are still
10 uncertain.

11 Third, a strong California standard could
12 potentially result in a stronger national standard than what
13 otherwise might be achieved. The metrics in the draft
14 proposed amendments would ensure energy savings in the field
15 regardless of how a particular product is operated, since
16 the standards would address efficiency in charge maintenance
17 and no-battery modes. In the preliminary analysis that DOE
18 released last year DOE proposed an annual energy use metric.
19 DOE could follow California's lead and establish metrics
20 that would closely resemble California's metrics to better
21 ensure energy savings in the field. We along with other
22 organizations proposed an approach to DOE in comments last
23 fall that would more closely resemble the CEC approach. And
24 we would hope that if California sets standards that achieve
25 significant cost effective energy savings using readily

1 available technology DOE would establish standards that are
2 no less stringent.

3 And finally, regardless of the ultimate DOE
4 standards, the initial California standards would likely
5 spur efficiency improvements in the market that could have
6 long term energy saving benefits. Thank you very much for
7 the opportunity to participate today.

8 COMMISSIONER DOUGLAS: Thank you for your comments.
9 I will go back to people in the room. I don't see any
10 other hands up for folks on the East Coast. So Spencer Stock
11 with Lester Electrical.

12 MR. STOCK: Thanks for the opportunity to make
13 comments. My name is Spencer Stock and I am with Lester
14 Electrical. Lester Electrical is an industrial and
15 commercial battery charger manufacturer located in Nebraska.
16 We primarily make products that fall within what we call the
17 large/small category. It is in the small category but it is
18 in the above 1000 watt-hour category. So we make products
19 for golf cars, floor care equipment, _____ platforms
20 with general handling, etcetera.

21 There are a couple of things I want to discuss. The
22 first one is the newly proposed 24 hour requirement for this
23 large/small category, again for the energy battery greater
24 than or equal to 1000 watt-hours. One of the stated goals
25 that Ken had in his slides was that you guys wanted to

1 improve the discontinuity at the boundary between the large
2 and the small charger category. Because the large charger
3 category specifically has efficiency associated with the
4 charger itself and not the system, we went through and did
5 the math for typical applications that fall in that
6 large/small category and calculated out the system
7 efficiency and then calculated out the required charger
8 efficiency based upon typical efficiencies of lead acid
9 batteries, which dominate that category. And when you do
10 the math the majority of the applications in that area would
11 require charger efficiencies above the 89 percent for the
12 large category. So you're looking at for golf, for example,
13 fleet golf which is a big one that has been brought up, many
14 times a required charger efficiency of over 90 percent,
15 which is quite difficult.

16 You guys in your original staff report made comments
17 that you wanted to have a technology-neutral standard that
18 didn't eliminate key battery charger technologies. And
19 within this large/small category silicon-controlled
20 rectifier and ferroresonant chargers are major charging
21 technologies. And this new level, it wouldn't be possible
22 for those charger technologies to meet the required charger
23 efficiencies based upon efficiencies of lead acid batteries.
24 And so with this new level - first of all, it doesn't meet
25 the goal because it goes above the large charger level. And

1 second of all, it would essentially eliminate transformer-
2 based chargers. And within these categories practically the
3 only chargers that are manufactured in the United States are
4 transformer-based chargers. So it would essentially move
5 all of the charger production within these categories to
6 overseas charges, which are switch mode chargers that very,
7 very few in that category are manufactured in the United
8 States.

9 The second thing I want to talk about is the
10 timeline. We want to commend and support the Commission on
11 extending the timeline for non-consumer applications an
12 additional year. That is critical. We want to point out
13 the fact that there are some applications - and I mentioned
14 golf already, I will bring that up again - that are
15 considered consumer applications but that have the same
16 restrictions or the same difficulties that the non-consumer
17 or the industrial applications have. Ken mentioned that
18 non-consumer applications have longer design cycles. And it
19 is absolutely true for some of the things that you guys are
20 classifying as consumer, specifically golf, where the
21 typical cycle is a two-year cycle. Because within the golf
22 category you're dealing with a cycle where you have to
23 design a product and then all of the products get sold to
24 the actual golf cart companies, they are the OEMs for the
25 product. And so they have a two-year cycle for new products

1 where they do extensive field testing before they would
2 deploy a new charging system.

3 And so a one year implementation timeline specific
4 to the golf industry would be very, very difficult just
5 based upon the fact that golf really is much closer from a
6 design standpoint to the non-consumer applications even
7 though it has been considered a consumer application and
8 requires - based upon the fact that you have just a couple
9 of very large customers, the golf cart OEMs, and they do not
10 release new charging systems very often. That was another
11 thing that Suzanne mentioned, the consumer products are
12 regularly redesigned, that is not the case with golf, they
13 are very seldomly redesigned. And then they have a long
14 testing cycle before the golf cart companies would deploy
15 new systems. So one year would make it very, very difficult
16 for the golf cart companies in the State of California.

17 The next thing I wanted to mention was we very much
18 support the removal of the power factor requirement for the
19 small battery chargers. And I would make a comment that
20 Suzanne in her presentation was asking for or recommending
21 that it be reviewed, that the power factor requirement be
22 added back in for energy batteries greater than 100 watt-
23 hours within the small charger category. And she had a
24 slide that made a comment that there is readily available
25 silicon solutions for power factor correction. That is not

1 the case for silicon-controlled rectifier ferroresonant
2 chargers. To the best of our knowledge and research, there
3 are no readily available solutions to provide power factor
4 correction for those technologies.

5 Then the last comment I will make along the same
6 lines as the gentleman from Philips, talking about emergency
7 lighting and this being a public safety application, I want
8 to bring to the Commission's attention another particular
9 application. We make chargers for the railroad industry for
10 railroad signals and crossings. And the railroad industry
11 has a - there was a 2008 Federal Railroad Administration law
12 that mandated something called the positive trend control
13 system or PTC. And this is a requirement to deploy
14 collision avoidance systems in the United States rail
15 network. It actually started based upon an accident that
16 happened here in the State of California. And so there is a
17 federal law for the railroads to deploy these collision
18 avoidance systems throughout the United States by the end of
19 2015.

20 They have started that process, they have already
21 tested and chosen equipment that they are deploying
22 throughout the United States. And so if the railroads were
23 required to test and then implement new charging systems in
24 the middle of this deployment of PTC for the State of
25 California it would provide a very big burden on the

1 railroads. And we have conference calls in the past with
2 some of the staff members where we have had representatives
3 from the Class I railroads operating in the State of
4 California that were on there to also voice those concerns,
5 too. So we just want to make sure that that is understood
6 or bring that up to the Commission. Thank you.

7 COMMISSIONER DOUGLAS: Thank you and thanks for
8 being here. Hopefully you will submit some of the comments
9 about the lead acid batteries in golf carts and so on in
10 writing.

11 MR. STOCK: Absolutely.

12 COMMISSIONER DOUGLAS: Where do you do your
13 manufacturing?

14 MR. STOCK: We manufacture everything in Lincoln,
15 Nebraska.

16 COMMISSIONER DOUGLAS: Thank you. All right, Mark
17 Sharp with Panasonic.

18 MR. SHARP: Hi, my name is Mark Sharp and I'm with
19 Panasonic. I have had the privilege over the last four or
20 five years of addressing the Commission on a number of
21 occasions for consumer electronics and I appreciate the
22 opportunity to again address you.

23 I wanted to follow-up briefly on some comments that
24 we submitted to the record earlier this week. And they are
25 basically a request for clarification. I have had some

1 sidebar conversations with staff, with both Ken and
2 Harinder. But we have also touched upon the same questions
3 today with Intel's presentation so I just wanted to clarify.
4 Basically what we are interested in finding out and getting
5 clarification on is the intended product scope of these
6 proposed amendments. Specifically, we want to confirm
7 whether it's the Commission's intention to regulate ordinary
8 USB ports as battery chargers.

9 Although it's not their primary function, the USB
10 port provides limited power to recharge various battery-
11 operated devices, as you are aware. And specifically one
12 example that we are going to try to get our hands around and
13 understand better, Panasonic TVs have USB ports in them to
14 connect a variety of peripherals, including flash drives to
15 look at photos. But our latest 3D televisions include
16 shutter glasses that you have a rechargeable battery and
17 they are provided cables to recharge through the TV set USB
18 port. And we want to find out, this particular example and
19 other examples are such a wide variety of devices that you
20 can connect to any USB port. It is really impossible to
21 measure the actual charging power as a result because there
22 are so many different products that you just haven't
23 accounted for potentially. So we wanted to confirm the
24 intention of this Commission on the regulation whether the
25 devices equipped with USB ports would be covered. Thank

1 you.

2 COMMISSIONER DOUGLAS: Thank you. Let me ask staff
3 to respond.

4 MR. RIDER: Yes, the USB ports themselves wouldn't
5 be regulated. Again, it's the devices that have the charge
6 control circuitry. So if your 3D glasses have a USB port, I
7 guess, to charge that device would be covered. But the
8 television itself as sold, it has a USB port but it's not
9 considered a battery charger. Same with like an external
10 power supply. Like I know I own a few external power
11 supplies that just have a USB port. If I were to buy that
12 by itself at the store it wouldn't be considered a battery
13 charger. It would be an external power supply but it
14 wouldn't be a battery charger. So the parts that contain
15 USB ports by themselves are not in the scope of what we are
16 considering.

17 And I believe that the USB devices that would be
18 covered, like the glasses themselves that contain a battery,
19 are tested with just an artificially lab-created five volt
20 input. And I encourage - I haven't read that portion of the
21 test procedure recently, but I believe that's the source for
22 the testing.

23 MR. SHARP: Thank you very much. I appreciate it.

24 COMMISSIONER DOUGLAS: Thank you for being here.

25 Christopher Paul with Motorola Solutions. Actually,

1 Christopher, you gave a presentation. I don't know if this
2 means that you would like to speak as well.

3 MR. PAUL: No, thank you.

4 COMMISSIONER DOUGLAS: Well, you do have the
5 opportunity again. But if you have said it all, don't feel
6 obliged. Dan Jakl from Motorola Solutions.

7 MR. JAKL: Once again Dan Jakl with Motorola
8 Solutions. I wanted to go back to when Larry had presented
9 from Black & Decker, I believe. And there were some
10 questions about nickel-metal hydride and nickel-cadmium.
11 And those are technologies that I've worked on for many
12 years so I would like to give some additional comments on
13 that.

14 I think one of the things we had heard was that
15 sometimes nickel chargers may be designed to be much
16 cheaper, more cost effective for certain products, certain
17 consumers, things of that nature. The products that
18 Motorola Solutions has and the ones that I presented
19 actually earlier today, it was the same charger, same
20 circuitry. Our chargers are smart enough to detect the
21 differences in whether it's a lithium battery or a nickel-
22 cadmium or nickel-metal hydride and then they apply the
23 appropriate charging algorithm to that particular battery.
24 I think there was a comment, Could they be made more
25 efficient by modifying those algorithms?

1 Unfortunately, getting into how nickel-metal hydride
2 or nickel-cadmium is charged, when you begin charging the
3 chemistry - I'm not a chemist, I'm not a Ph.D. in chemistry
4 but I trust the data that we get from them. And a lot of
5 this is available from Sanyo and Panasonic, several
6 manufacturers. But at the beginning of the start of charge
7 they are very inefficient. There are some chemical changes
8 going on in the cell where that charge current going into
9 the battery isn't actually going to be some energy you are
10 going to be able to get back right away. So in the first
11 beginning stages they are not efficient regardless of how
12 you are charging it or putting energy in, you can't get it
13 back out.

14 After a certain point of charge the efficiency goes
15 up significantly. So they are very efficient for a period
16 of time. And then as the charger is trying to sense when it
17 is full, typically at the 90 percent point, there is a
18 thermal reaction. And when that thermal reaction occurs
19 that's usually what the chargers are determining, to look
20 for detection of charge. Either the temperature is going up
21 significantly at an increasing rate or maybe the voltage is
22 even starting to come down a little bit, it's another
23 algorithm that some of these circuits and ICs use. So, once
24 again, in the way that these batteries charge you have to be
25 looking for these types of conditions occurring to fully

1 charge them.

2 So, once again, at that point when that heating is
3 going on or the voltage is starting to come down the
4 efficiency is not unfortunately not very good again. So you
5 start charging and they are not very efficient, in the
6 middle portion - maybe around the 10 percent level - it's
7 very efficient, and at the tail end, you know, the 90
8 percent point the efficiency drops off again. And then the
9 net effect, of course, is the whole efficiency of the charge
10 profile is not as good as it is, say, for a lithium-ion
11 product.

12 One other thing I do want to mention is, you know,
13 we do charge our batteries fully for the customers that we
14 have. We don't leave anything left on the table. And even
15 in maintenance mode we try to maintain full steady charge
16 for our customers. I'm not sure we've ever had a customer
17 that said they only needed 90 percent of the battery. That
18 has not occurred to us yet as far as a customer requirement.
19 And I do want to mention that we don't overcharge on
20 purpose. It is actually not good for the cells. Once
21 again, you charge to a point where the chemistry tells you
22 that it is starting to overcharge and then you shut off and
23 you go into a very low rate of charge, some suppliers will
24 say two hours or one hour for the trickle mode. You maybe
25 can get another couple of percent of charge into the

1 battery, that's about all that's good for.

2 Extending that beyond that you are probably not
3 going to get - you wouldn't want to continue at an extremely
4 high rate where the temperature would go up to a dangerous
5 level. Typically if you get above 45 degrees Centigrade in
6 the cell you are going to damage it anyway. So that is
7 something you don't want to do. We optimize our products
8 for cycle life and energy, not necessarily for cost, for our
9 customers.

10 MR. RIDER: Actually, Dan, can I ask you a question
11 while you are up here?

12 MR. JAKL: Sure.

13 MR. RIDER: So in your presentation you mentioned,
14 or you proposed, that we increase the charge in 24-hour
15 charging maintenance energy. However, you didn't recommend
16 any changes to the maintenance and no-battery levels.
17 However, in Larry's presentation and in many comments and
18 conversations that I've had with nickel battery chemistry
19 charger manufacturers they have stated that they needed this
20 very high maintenance mode energy. And as you stated, your
21 products, it's extremely critical that they are full because
22 they are life safety products or emergency products for
23 first responders. And I remember looking over some of the
24 numbers you presented me and the maintenance mode
25 consumption between a Motorola lithium-ion and a Motorola

1 when you stick in a nickel-cadmium battery, they weren't
2 that significant. There was a change but it wasn't that
3 significant.

4 Can you speak to maybe why that is the case for your
5 chargers and maybe what that discrepancy is?

6 MR. JAKL: Yes, I will definitely try. The
7 majority of our products in the maintenance mode there is
8 actually usually no current going through to the battery.
9 We have tests that occur approximately every five minutes
10 where there is a ramp-up of charge to get to continue to
11 maintain. But it is not constant current at a very low rate
12 of, you know, 20 milliamps or 50 milliamps. So it usually
13 will be off for a majority of the time and then there is
14 this rise of current. And we are using voltage to determine
15 if, for instance, a radio was turned on and is actually
16 discharging the battery and then we can compensate for that
17 as well. Because our customers may do that. But we do this
18 periodic test.

19 MR. RIDER: Great, Dan. So just to summarize to
20 make sure I understand correctly, you have been able to
21 achieve this lower maintenance by cycling the battery on and
22 off very carefully with the circuitry monitoring the voltage
23 and making sure when it starts to slip that you give it a
24 little boost and then you turn it off again?

25 MR. JAKL: Yes.

1 MR. RIDER: Thank you very much for that
2 explanation.

3 COMMISSIONER DOUGLAS: Thank you. We are almost
4 through with the cards. Henry Wong from Intel wanted to
5 make another comment.

6 MR. WONG: Yes, sorry I missed a couple of key
7 points that I would be remiss at not highlighting. Some of
8 it is in the document that we provided.

9 First of all, if the test modes are not going to be
10 feasible in terms of isolating the non-battery-charging
11 functions we do recommend that in order to be consistent
12 with the developing activities in Europe, because we are
13 looking at the additional functions as well, we are
14 recommending a two-phase approach. And the first additive
15 value associated with those functions is at 1.7 watts. That
16 is consistent with the request that we have made to the
17 European Commission as well as some of the data that we have
18 been providing them in terms of the kinds of functions that
19 are going to be upcoming for those systems.

20 The second comment that I failed to mention was that
21 a lot of these notebooks and mobile computing devices have
22 built in them very smart batteries. The battery structure
23 and charging mechanism is a two-way communication. In a lot
24 of case - I think in most cases - the batteries are not
25 going to be able to be 100 percent fully charged nor will

1 they be completely depleted. If you open up your notebook
2 you will hopefully never see a zero percent on that
3 notebook. There are some housecleaning activities and safety
4 functions that are built in that will prevent that from
5 happening. And if you are writing up the test procedures
6 you have to go ahead and then acknowledge that you can't
7 really achieve that zero point or potentially even hit the
8 100 percent point on the battery.

9 My third comment - and that will be the last
10 hopefully - is that I was wondering where some of the
11 background information associated with the potential savings
12 claims exists so that we can review them. One of the big
13 concerns - and this occurred in some of our other studies
14 with the DOE and the Energy Star Program - was to make sure
15 that we understood what was going to be actually saved by
16 the regulation versus business as usual. And, as you can
17 see in your everyday life, our technologies are advancing
18 very quickly, basically from competition as well as the use
19 expectations of our devices. And it is that acceleration of
20 technology that will save a lot of energy on its own. And
21 we would caution claims of the regulation causing the energy
22 savings when it might already be there. So that's why we
23 want to go ahead and make sure we understand the basis
24 behind a lot of the claims.

25 COMMISSIONER DOUGLAS: Thank you. We are going to

1 have ECOS back up in just a minute and I will ask Suzanne to
2 be sure to identify where you can find the background
3 information. I am aware of the efforts in the European
4 Union. It would be helpful to us to have you provide us
5 some of that information as well because we are interested
6 in consistency when we can possibly do so.

7 Gary Fernstrom from PG&E, do you have any additional
8 comments?

9 MR. FERNSTROM: No.

10 COMMISSIONER DOUGLAS: So the last card I have -
11 actually I have three of them - is from Suzanne Porter.

12 MS. PORTER: Thank you. And I will keep this as
13 brief as possible given the fact that it is four o'clock and
14 I think some people probably have to catch flights.

15 I just wanted to conclude in response, just make one
16 response to Spencer Stock's comments related to technology
17 and technology neutrality in the standard. Although it is
18 true that in the CASE report we intentionally wanted to be
19 technology neutral to battery chemistries, it is not true
20 that we intended to be technology neutral to topologies or
21 charger designs. In fact, the success of the external power
22 supply initiative was built on the technology change from
23 linear power supplies to primarily switch mode power
24 supplies that were a much more efficient technology and they
25 were very cost effective in terms of total cost of ownership

1 to the citizens of California.

2 Similarly for this standard, in order to meet the
3 requirements there are going to have to be topology changes,
4 both for small chargers and for large chargers, movement
5 away from the older linear technology and towards hybrid
6 approaches of silicon-controlled rectifier and ferroresonant
7 together, as well as high frequency switch mode for the very
8 large chargers because there are cost effective savings and
9 our research suggest there are no functionality differences
10 to the end user. So I just wanted to make the point that
11 that is part of what we are trying to facilitate with this
12 proposal, to move to some of the newer, more efficient
13 technologies that haven't historically been adopted.

14 MR. STOCK: Okay, thanks for clarifying that.

15 I would encourage one thing. In some of these non-
16 consumer applications - I brought up the railroad
17 application - there has been no adoption of non-transformer-
18 based charging technologies based upon environmental
19 requirements and also longevity and ruggedness requirements.
20 And so we haven't been able to - and haven't seen any
21 examples in some of these extreme applications, these non-
22 consumer applications, of switch mode chargers. And we
23 make SCR chargers, we make ferrochargers, we make switch
24 mode chargers. But there are a number of applications in
25 the non-consumer space where there are requirements for

1 extreme environments, longevity, reliability, where there
2 has been no proven switch mode designs that can withstand
3 those applications. And there are no solutions in the
4 market for non-transformer-based topologies for those.

5 And I will also just encourage the fact that, though
6 some topologies offer higher efficiencies and other switch
7 mode chargers, you know, in general can reach a higher
8 efficiency standard, there are reasons outside of efficiency
9 - I know that efficiency is the primary purpose of - it's
10 the only purpose of what is being worked on right here. But
11 it is important to understand that if the regulations are
12 written to a point where there is no choice in topologies
13 for battery chargers - and, again, I'm speaking towards
14 these larger industrial non-commercial chargers - there will
15 be losses to customers in things such as repairability,
16 choices of US-manufactured products, and again, in our
17 opinion and in our analysis, things such as ruggedness and
18 longevity of the products.

19 COMMISSIONER DOUGLAS: Thank you. For the record
20 that was Spencer Stock with Lester Electrical. We are
21 through the cards. Is there anybody else on the phone who
22 would like to make a comment at this time?

23 MR. HAILEY: Hi, this is Jeff Hailey with Dell. I
24 am in the Office of Environmental Affairs. I would like to
25 thank the commissioner for the opportunity for this

1 workshop. And I would like to reiterate many of the points
2 that my colleague Henry Wong from Intel raised about the
3 labeling, the separation of the functions, the charger from
4 the other functions of our products. And to that end Dell
5 covers many products from the consumer level up to the very
6 high-end enterprise.

7 Many of our products with batteries are actually
8 considered battery backup systems for storage controllers.
9 And in that case there is really no easily way to separate
10 the battery charger system out from the storage controller
11 without going into the circuitry and disabling the storage
12 controller. And so I want to be clear, you know, does the
13 CEC intend to regulate those within this? And, if so, we
14 need to have some method to clearly separate the battery
15 charger.

16 COMMISSIONER DOUGLAS: All right, thank you. Ken,
17 is that question something that you have already addressed
18 or is that a nuance on the question you have already
19 addressed?

20 MR. RIDER: Oh, gosh, I was busy muting all the
21 lines. I'm sorry.

22 COMMISSIONER DOUGLAS: I think the question was
23 where the functionality of having a charger is really more
24 for storage. But I think it should be asked again just so
25 that we get it.

1 MR. RIDER: Yes, could you repeat that question?

2 MR. HAILEY: Sure, Ken. So the question is around,
3 we at Dell have many high-end storage products that have
4 built-in battery backup to protect the write cache in case
5 of power failure, to protect the user data. The battery
6 function is a very small part of the overall architecture.
7 And so whether it's an add-in card to a system or whether it
8 is in a separate box that has a power supply in it, there is
9 really no feasible mechanism with which to isolate the
10 battery charger - well, let me take a step backwards.
11 Without comprehending the other functions of the system
12 there is really not a feasible mechanism to isolate the
13 battery charger from everything else without disconnecting,
14 you know, probably 98 percent of the circuitry.

15 And so is this going to be covered? I mean,
16 obviously you have a separate line item for battery backup
17 and uninterruptible power supplies now. But, you know, to
18 disconnect that and measure the power of that you are going
19 to have to disconnect other circuitry. And the test
20 procedure as written, you know, that is not acceptable. So
21 I don't really know how this should be covered.

22 MR. RIDER: Yes, Jeff. So the uninterruptible
23 power supply or battery backup, battery chargers, are only
24 subjected to maintenance mode requirements. So I'm not
25 exactly sure what the other functions are and what the case

1 is that you are discussing here. We what we would be
2 interested at the CEC in knowing is what are those other
3 functions when the product is off. Because we are talking
4 about maintenance mode, which is basically, you know,
5 imagine your product is off and it is just sitting there and
6 the battery is kept topped off by the power supply. And we
7 would just be interested in getting more information on what
8 the other functions competing for that maintenance power
9 would be that you couldn't turn off. And I think it is much
10 along the lines of what we've been discussing for a
11 multitude of products today, about these extra features like
12 networking and USBs, etcetera.

13 And so either you can work through Henry or you can
14 call me or submit a letter in the docket. But I think we
15 would be interested in more information.

16 MR. HAILEY: Absolutely. I will give you call
17 later.

18 MR. RIDER: All right, thanks.

19 COMMISSIONER DOUGLAS: Is there anybody else on the
20 phone who hasn't spoken yet and would like to comment?

21 MR. RIDER: Yes, we have Katt Fretwell on the
22 phone. Just a second, Katt, I'm going to mute everyone and
23 then unmute it so that way I can give you my undivided
24 attention. Okay, you should be live.

25 MS. FRETWELL: Okay, thanks. My name is Katt

1 Fretwell, I work at Tektronix and I'm a Product Compliance
2 Engineer. And I want to reiterate everyone's thanks to -

3 MR. RIDER: Katt, can you speak up a little bit. I
4 can't hear you very well.

5 MS. FRETWELL: Sorry about that. Can you hear me
6 better?

7 MR. RIDER: A little bit better.

8 MS. FRETWELL: Let me try switching to my handset.
9 Does that work?

10 MR. RIDER: That's much better. Thank you.

11 MS. FRETWELL: Okay, great. Sorry about that. So
12 I wanted to thank the staff and Commission for holding
13 another workshop and for their availability to discuss the
14 issues and their consideration of our previous comments. I
15 did want to mention that I do share - I think it was Mr.
16 Bartell's at Motorola - sentiments that, though I think you
17 have addressed some of our concerns and put a redesign into
18 the realm of possibility for very low volume industrial
19 products, I don't think that we have yet addressed the issue
20 of very high engineering costs that are not included
21 particularly in the incremental costs of changes to these
22 systems.

23 I also had a few, I think, pretty simple questions
24 that I was hoping you guys could answer or think about. Has
25 there been any thought been put into what needs to be done

1 for systems that are not actually sold as systems,
2 particularly where you have a product that has a purely
3 optional battery element? In other words, the product does
4 not require the battery to function and is not sold with the
5 battery or a charger and may not even be sold with an
6 external power supply. However, you know, in some cases we
7 offer them as an optional enhancement to the product so the
8 battery would not be sold with the product but would be sold
9 separately, the charger which is also optional would be sold
10 separately. And in those cases we don't have any control of
11 when something goes out.

12 As a system how would you determine compliance for
13 that when the three parts of it could be sold at different
14 times, some of them before the existence of the regulations?
15 And related to that, how would you market as a system since
16 the three elements would be sold completely separately? And
17 finally, a question related to the test methodology. Is
18 there any reason why - it seems that the battery charging
19 system test methodology requires you to use an energy
20 analyzer, whereas the external power supply testing
21 methodology allows you to use a power analyzer. And this
22 seems to me like you would have to buy additional
23 specialized equipment where current external power supply
24 testing setups could be used to gain the same information
25 and not waste capital expenditures in developing new testing

1 systems.

2 So thank you very much.

3 MS. PORTER: This is Suzanne Porter, consultant to
4 the IOU statewide Codes and Standards Team. Katt, I would
5 be happy to address your questions regarding the test
6 procedure and battery selection. To your first question, I
7 think it would probably be best - I would encourage you to
8 have a conversation either with the CEC staff or you and I
9 one on one to talk specifically about your product and we
10 could walk through how it applies at the test procedure.
11 Based on the description that you gave here my sense is,
12 without more detailed information, that the charger system
13 that would be coupled with the battery would be regulated.
14 And even though it is not packaged with a particular battery
15 there is a protocol in the test procedure for battery
16 selection. And there are other products - specifically this
17 comes up with double A chargers - where the batteries are
18 sometimes not packaged with the product.

19 So though the CEC's test procedure has a particular
20 methodology, DOE's NOPR which came out last year on the test
21 procedure modified that methodology slightly. So I would
22 encourage you to look at both of those.

23 MS. FRETWELL: Point of clarification on that. We
24 were not worried about choosing different batteries, it
25 would actually have a defined battery. The question comes

1 up when you get into the issue of what is compliant and what
2 is not. You know, you are selling a compliant external
3 power supply that complies to all regulations for that. It
4 is an optional accessory. It will eventually be part of a
5 battery charging system most likely. But it's not being
6 sold that way, other than by intent. You know, the actual
7 act of selling, it is just the external power supply that is
8 being sold.

9 MR. RIDER: Katt, this is Ken. Let me address that
10 for a second. If you sell just a battery, that is not a
11 battery charger system. If you sell just an external power
12 supply, AC to DC, that is not a battery charger system.
13 It's when you sell something that has charge control
14 circuitry where I can plug in a battery or a battery is
15 already hooked in. That would be the covered product that
16 is a battery charger system. And if it comes with a battery
17 or it has a specific battery that is associated with it
18 that's how it's tested. But it's really once you include
19 something that has charge circuitry, then it becomes the
20 covered product. Does that make sense?

21 So if your product has an accessory - if it itself
22 doesn't have any battery charger circuitry in it, it's not
23 covered. If you sell it wouldn't be part of this
24 regulation. If you sell an accessory that has that battery
25 charger circuitry in it, that would be covered and the sale

1 of that would be covered. Does that make sense?

2 MS. FRETWELL: Okay, that clears it up. Thanks.

3 MR. RIDER: Okay.

4 MS. PORTER: Katt, I think you had a few other
5 questions about the test procedure. And I would be happy to
6 answer them. This is Suzanne Porter. But could you please
7 restate them?

8 MS. FRETWELL: Certainly. The real concern here
9 was that we have an existing setup for testing energy
10 efficiency on external power supplies, which requires
11 testing of your power essentially. It seems like the
12 battery charger system methodology looks at a very similar
13 output from the charging system but requires you to measure
14 it as energy, which would require purchase of new equipment.
15 Is there any reason why we could not do these measurements
16 in terms of power instead of energy, thus not requiring us
17 to buy some kind of battery analyzer, if you can control all
18 the other elements of the measurement?

19 MS. PORTER: Right. I would be happy to talk with
20 you offline about the specific piece of equipment you have.
21 We are very familiar with this type of equipment with the
22 laboratory we have at our facility. But just a quick answer
23 is that the reason why accumulated energy is part of the
24 test procedure for battery chargers is because there is a
25 significant time component associated with the test. The

1 primary place where this is employed is the battery is fully
2 discharged and then the battery is placed in the charger and
3 then fully recharged over a 24 hour period. And the
4 accumulated energy function on a piece of equipment is
5 useful to sort of enable - to allow that to run for the 24
6 hour period and then come back and get the result.

7 The external power supply test procedure instead is
8 a set of fixed loading points on the output. I'm sure
9 you're familiar, but it's a very short measurement with
10 stabilization periods. So the power is a lot more
11 appropriate. So I think if specifically for your power
12 meter if it has an integration function, which some of them
13 do - it's called integrating over time - you can actually do
14 that integration without buying a specific energy meter. So
15 we could talk about that.

16 MS. FRETWELL: Okay, thank you.

17 COMMISSIONER DOUGLAS: All right, thank you. Any
18 other comments from the phone?

19 (No response.)

20 All right, it looks like we do not. NRDC would like
21 to come up and make another brief comment.

22 MR. DELFORGE: I apologize for these late comments.
23 I had submitted a card but it seems to have gone missing. I
24 will keep this very short. So two comments to respond.
25 And, Ken, would you mind putting up the second slide of my

1 presentation, the one with the low efficiency products?

2 So in response to the comment about outlawing some
3 of the nickel-cadmium chemistries, the products which are on
4 this slide, which are some of the lower battery capacity
5 products, I have checked the test data set and for every one
6 of these products I want to clarify they are in the test
7 data set products which are multiple times more efficient
8 with the same chemistries. So not requiring a change of
9 chemistries. In these four products here we have a variety
10 of chemistries, including nickel-cadmium, nickel-metal
11 hydride and lithium-ion, and in each case they are products
12 that either meet the standard or are very close to it.
13 Multiple times higher efficiency than this and with the
14 additional engineering design changes that have been
15 described today would easily meet the standard. I just
16 wanted to make the point that this is not eliminating
17 chemistries. I'm not talking about medium range products.
18 Again, this is just low end.

19 The second point I want to talk about is the issue
20 of having networking functions that would prevent meeting
21 some of the standby requirements and which are necessary for
22 users. The test procedure very clearly says that products
23 should be tested without any networking cable or even Wi-Fi
24 functions. And I would submit that these should not be part
25 of the standby mode, they should be part of the network

1 standby mode and that the standard applies to strictly
2 standby mode without any type of these functions. And the
3 products which have these functions should also offer users
4 a way to have a standby mode which does not require these
5 networking functions to on 24/7 if users don't want to use
6 them.

7 So I think, you know, whether this is by a hard
8 switch or by a software configuration or other means, there
9 should be a way to use these products in pure standby mode
10 without having these networking functions that require more
11 power than the standard allows. Thank you.

12 MR. PAUL: This is Chris Paul from Motorola
13 Solutions. I would like to reply to the request that the
14 networking functions be possible to turn off, that switches
15 be added. Customers do not use these products in a manner
16 that they would wish to or ever engage in turning off the
17 networks. The networks are on 24/7 so that someone comes in
18 with a terminal and drops it into the cradle the network is
19 right there for them. There are multiple slot cradles that
20 have multiple terminals, maybe one terminal is in there,
21 maybe two terminals are in there, but the network is always
22 up and operating.

23 What you suggest would be akin to saying that in
24 buildings right now which are wired for use with computers
25 and maintaining networks, that we have a switch on our

1 Ethernet sockets so that when we are not using them we could
2 reach down under the desk and throw a switch to disconnect
3 the Ethernet connection to our equipment. People are not
4 going to do that even if you supply it. And if you did
5 supply it you would be adding cost to provide a feature that
6 they wouldn't be using. So I don't think that that's a
7 particularly good idea.

8 MR. DELFORGE: Well, isn't that the case for power
9 management where you have auto power down function that is
10 not being used and could be labeled unnecessary?

11 MR. PAUL: No, because the network has to continue
12 operating. And in fact what we do is chain these things so
13 that there are a whole series of chargers. We don't have a
14 hub in which they are wired from one point out to all with a
15 star arrangement. We have a ring arrangement or a line
16 arrangement in which, well, this unit may not be used but
17 the one next to it is being used. And to support that
18 technology the power must go through the equipment. And
19 again, people are not going to turn this one off so that one
20 can be used, that's not the usage model that our customers
21 have. They want a facility that is ready to go and dropping
22 things in. They are not going to turn off Ethernet switches
23 even if you give them to them.

24 COMMISSIONER DOUGLAS: All right. I would like to
25 thank everybody here for their participation. This has been

1 extremely helpful to me. I benefit a lot from hearing some
2 of this point-counterpoint and it helps my understanding, so
3 thank you.

4 Let's reiterate the deadline for written comments.
5 The deadline is what day?

6 MR. RIDER: That would be May 31st, the last day of
7 this month.

8 COMMISSIONER DOUGLAS: So we look forward to
9 receiving written comments on May 31st. This has been
10 extremely helpful to me. I'm sure the written comments will
11 be as well. And so with that, thank you again. The
12 workshop is adjourned.

13 (Workshop adjourned at 4:25 p.m.)
14
15
16
17
18
19
20
21
22
23
24
25