

BEFORE THE
CALIFORNIA ENERGY COMMISSION

DOCKET 10-BSTD-1
DATE APR 27 2011
REC'D JUN 07 2011

In the matter of Staff Workshop on)
 Draft Nonresidential Chiller and)
 Cooling Tower Efficiency, Air) Docket No. 10-BSD-01
 Compressor, and Control Systems)
 Revisions for 2013 Building Energy)
Efficiency Standards)

CALIFORNIA ENERGY COMMISSION
 HEARING ROOM A
 1516 NINTH STREET
 SACRAMENTO, CALIFORNIA

WEDNESDAY, APRIL 27, 2011
 10:00 A.M.

Reported by:
 Kent Odell



Present: (* Via WebEx)

Staff Present:

Patrick Saxton
Ron Yasny

Presenters

Mazier Shirakh, CEC
Mark Hydeman, Taylor Engineering
Erika Walther, Energy Solutions
Dave Watson, LBNL
Jeff Stein, Taylor Engineering
Reid Hart, PECI
Matt Tyler, PECI
Russell Torres, Energy Solutions

Also Present

Attendees

Eric Bessey*
Larry (Lee) Burdick, Trane Co.
Ransom Byers, Energy Solutions
Mark Cherniak, New Buildings Institute
Bill Dietrich, Baltimore Aircoil Company (BAC)
John D. Douglass (ph.)
Reid Hart, PECI
Trevor Hegg, Evapco, Inc.
Paul Lindahl, SBX
Richard Lord
Mike McGaraghan, Energy Solutions
Jon McHugh, California Statewide Codes & Standards
Program, McHugh Energy
Frank Morrison, Baltimore Aircoil Company (BAC)
Kirk Oatman
Josh Rosa, California Association of Sheet Metal and Air-
Conditioning Contractors
Mick Schwedler, Trane Company

INDEX

	PAGE
Introductions/General Information about 2013 Title 24 Rulemaking Calendar	
Mazi Shirakh	4
Chiller Efficiency and Chiller k Factor Equation	
Mark Hydeman, Taylor Engineering	11
Air Cooled Chillers	
Mark Hydeman, Taylor Engineering	21
Cooling Tower Efficiency	
Mark Hydeman, Taylor Engineering	32
Cooling Tower Water Efficiency	
Erika Walther, Energy Solutions	71
Automated Demand Response for Nonresidential HVAC	
Dave Watson, LBNL	91
SZVAV Fan Control and Integrated Economizers	
Jeff Stein, Taylor Engineering	105
Reduce Reheat	
Jeff Stein, Taylor Engineering	137
HVAC Controls and Economizing	
Reid Hart, PECE	148
Matt Tyler, PECE	156
Mark Cherniak, New Buildings Institute	164
Air Compressors	
Russell Torres, Energy Solutions	168
Public Comments	179
Adjournment	187
Certificate of Reporter	188

1 P R O C E E D I N G S

2 APRIL 27, 2011 10:01 A.M.

3 MR. SHIRAKH: Good morning. I'm Mazi Shirakh.
4 I'm the Project Manager for the 2013 Building Energy
5 Efficiency Standards. This is the fourth staff workshop
6 that we've had this month on Nonresidential Buildings,
7 and we have a long agenda today. We're going to start
8 with going over the agenda and then some brief
9 introductions.

10 So the topics for today are going to be Chiller
11 Efficiency and k Factors, Air Cooled Chillers, and
12 Cooling Tower Efficiency, and all of those topics are
13 going to be presented by Mark Hydeman of Taylor
14 Engineering; then we will break for lunch around 12:00,
15 then coming back we will talk about Cooling Tower Water
16 Efficiency and Erika Walther will present that topic; and
17 then we'll briefly talk about Automated Demand Control
18 for Nonresidential HVAC, and Dave Watson of LBNL will
19 present that; and at 1:50 is going to be Single Zone VAV
20 Fan Control and Integrated Economizers, and Jeff Stein of
21 Taylor Engineering will represent that; Reducing Reheat,
22 and again by Jeff Stein; HVAC Controls and Economizing is
23 going to be Matt Tyler of PECI; about 4:00 p.m. is going
24 to be Air Compressors by Russell Torres of Energy
25 Solutions; and then there will be public comment and

1 we'll adjourn around 5:00. These times are tentative.
2 If you're interested in a topic, you need to be paying
3 attention throughout the day because, you know, we may go
4 faster or slower than what is indicated on the agenda and
5 we'll just have to deal with it.

6 I have a set of slides that I want to present.
7 Most of you have seen these before, so I'm not going to
8 spend much time on most of them.

9 Again, I'm Mazi Shirakh and Martha Brook is not
10 here now, we are the Project Managers for this effort.
11 These are the Policy Goals that we're trying to pursue,
12 which is the articles and objectives for the 2013
13 Standards, that most important one being zero net energy
14 goals for residential and non-residential buildings. And
15 the goal is zero net energy for residential buildings by
16 2020 and nonresidential by 2030, and these are our
17 collaborators, which includes the California Investor-
18 Owned Utilities, PG&E, SCE, SDG&E, and Southern
19 California Gas, with PIER support, and we also seek input
20 from the public. These are the famous Rosenfeld Graphs
21 that show the effect of Buildings and Appliance Standards
22 on California's per capita consumption and, basically,
23 what it shows, the green graph here, the per capita
24 income energy consumption in California has been
25 relatively flat, while the U.S. as a whole has been

1 increasing. The next graph basically shows the same
2 thing, that California is probably the most efficient
3 state in the Union when it comes to per capita income,
4 partly or largely due to Buildings and Appliance
5 Standards.

6 Again, these are the policy goals for this round
7 of Standards. We're seeking anywhere from 15-25 percent
8 energy savings relative to 2008 Standards. And the 15 is
9 more indicative of nonresidential buildings and 20-25 is
10 more indicative of the residential buildings.

11 Another goal of the standards this time around is
12 to align our timelines with the tri-annual cycle of the
13 California Building Standards Commission. And we're for
14 the first time also publishing Reach Standards, Part 11,
15 as part of these proceedings. We're trying to address
16 several compliance and enforcement issues with this round
17 of Standards, a simplification of Standards is one of our
18 goals and, as part of that, we're migrating many
19 mandatory measures into prescriptive measures, and
20 mandatory measures are typically more easily understood
21 and enforced. We're reviewing and reducing the number of
22 exceptions in the standards, exceptions to the complexity
23 of standards and making it not clear what the actual
24 requirements of the standards are, so we're looking at
25 the whole list of exceptions to be eliminated. We're

1 trying to create user-friendly compliance forms and a
2 form generator. The idea here that users could answer a
3 series of questions related to their project, they need
4 to know nothing, next to nothing, about the forms, and
5 the form generator will fill out the forms for them, this
6 is not unlike some of the tax software that people use to
7 file their State and Federal taxes, where you don't need
8 to know much about the forms, you just need to answer the
9 questions and the software will generate the forms for
10 you.

11 We're also trying to simplify the performance
12 software interfaces to make it easier for alteration
13 projects, the idea here is that you can actually indicate
14 the type of building systems that you're interested in,
15 like just envelope measures, maybe cool roofs and
16 insulation and do trade-offs against those two, and the
17 program will neutralize everything else that's not part
18 of the project, like HVAC, water heating, and so forth.
19 Improving third-party verification and acceptance
20 requirements, we're looking at all those and trying to
21 clarify or improve them. Improving electronic record-
22 keeping, the CEC Central Document Repository, we're
23 building on the 2008 Standards requirement for HERS
24 registries and we're expanding that to create a central
25 repository where all those forms can be found and can be

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 used for program evaluation and enforcement actions.
2 Integrating energy efficiency and demand controls, things
3 like the controllable ballasts, are also a part of this
4 cycle of Standards. We're trying to capture some of the
5 measures that are not directly energy-related, like
6 global greenhouse gas emissions that may not have a
7 directly benefit or impact on the building itself, but it
8 has an impact on the amount of carbon or equivalent. So,
9 we're trying to capture those. For the first time, we're
10 looking for direct water savings as part of these
11 standards. We're going to be considering roof deck
12 insulation for residential buildings, in addition to
13 ceiling insulation, which is one of our probably biggest
14 energy savers for this time around; encouraging proper
15 building orientation to take advantage of the sun for
16 proper placement of the PV systems, and solar hot water
17 heating.

18 This is the schedule for the 2013 standards and
19 we're right in the middle here, where we're holding the
20 staff workshops to present the result of the case efforts
21 that have been going on for a while. And later this year
22 in September to March, we're going to be moving into the
23 rulemaking phase of the Standards, where we'll present it
24 for the 45-day and a 15-day language, and adoption is set
25 for March 1, 2012.

1 The Building Standards Commission will adopt
2 these and publish all parts of Title 24 sometime in the -
3 I can't read the date here, it's blocked by this, but I
4 think it's in July of 2013. And the effective date of
5 the Standards is January 2014.

6 As with all the other cycles of Standards, we do
7 lifecycle costing as the basis for each measure per
8 climate zone bases, and to that, we have to update our
9 Weather Files, we have to update our Time Dependent
10 Valuation, TDV values, for both Base and Reach Standards,
11 and update our lifecycle cost methodology, which was
12 presented in a workshop back in November of 2011. The
13 documents are all online.

14 And this time, we're working with the IOUs
15 through their Case or Stakeholder Meetings, and the IOUs
16 have been holding these meetings over the past year and a
17 half or so throughout the state and most of the topics
18 you'll be hearing today have been presented at least
19 three times to the stakeholders, so if you've been
20 participating in those meetings, this should not come as
21 new material to you.

22 Again, we're holding seven or eight days of
23 workshops this spring and this is the fourth one, and
24 these are the dates. The previous ones were April 4th,
25 that was the lighting and res lighting, April 11th was the

1 ventilation issues, the 18th was Acceptance Testing,
2 Design Phase Commissioning Refrigerated Warehouses,
3 Supermarket Refrigeration, Solar Rated buildings, and
4 Solar Hot Water Heating, and that was presented last
5 week.

6 Today's topics, you know, we went over the
7 agenda. Next May 5th will be probably the last non-
8 residential topics presented and the only exception is
9 next week we'll also be talking about the residential
10 domestic hot water. May 24th, May 31st, and June 9th are
11 three dates that we have set aside to present our
12 residential topics. The agendas will be released for
13 those dates. Later on in June, we will have one day to
14 present our Reach Standards for both residential and non-
15 residential buildings, and also late in June we'll have a
16 workshop to present the modification to the ACM Manuals.
17 We're trying to work on the software that will be used
18 for compliance for 2013 standards, and Martha Brook is
19 leading that effort, and the goal is to have this
20 software in place in time, way ahead of the actual
21 effective date of the Standard.

22 If you have any questions or comments related to
23 today's material that is presented, please send them to
24 me by May 4th, which is a week from next Wednesday. So,
25 with that, I'm going to close my presentation and if

1 there are no questions, I'm going to turn it over to Mark
2 Hydeman to talk about Chiller Efficiency and Chiller k
3 Factor.

4 MR. HYDEMAN: Thank you. Okay, I'm going to
5 cover the Chiller Efficiency Measure and this is, again,
6 a continuation of a number of workshops that we've had,
7 we had one last week and I made some changes based on
8 input that we received at that meeting last week. I also
9 have rolled in, if you've looked at earlier versions of
10 this, we just completed the analysis last night and so
11 what you're going to see up here is relatively fresh
12 information. We had to re-do all of the analysis due to
13 errors that were found in the curves in the initial
14 analysis, which was presented to us by HRI.

15 Overview - I'm going to talk about just briefly
16 kind of the history of this, and then we'll get into the
17 actual measures. Chiller Efficiency has been unchanged
18 since 2001. Title 24, Chillers are not federally
19 preempted, but Title 24 has up to now always followed
20 90.1. 90.1 2010 recently published - had a number of
21 changes, very significant, in the area of Chiller
22 Efficiencies, Addenda M provided higher efficiencies for
23 chillers, and two paths for compliance, Path A being a
24 fixed speed machine, Path B typically being a variable
25 speed machine, and one could comply either with Path A or

1 Path B in the 90.1 method of compliance. And then,
2 Addendum BL and BT, which also were adopted in the 2010
3 Standard, dealt with this "k" equation for non-standard -
4 basically centrifugal chillers that are not designed to
5 operate at the standard ARI 55590 conditions of 9585 and
6 44° chill water temperature. And we used to have a whole
7 bunch of tables in the Standard to deal with those non-
8 standard conditions; it turned out the range of that k
9 equation was quite limited and we've gone from, I think,
10 about 28 percent of the market being covered at present
11 to the vast majority of the market being covered now with
12 the extended range equation.

13 Addenda M also deleted the category of Air cooled
14 Chillers without condensers and consolidated all of the
15 positive displacement chillers to one set of
16 requirements, so the same requirements apply to screws,
17 scrolls, and reciprocating.

18 So, what we're proposing for Title 24 2013 is
19 under mandatory following exactly what's in 90.1, will
20 adopt 90.1's chiller efficiencies, both Paths A and B,
21 will delete the air-cooled category without condenser,
22 will consolidate all the positive displacement chillers,
23 will adopt a new "k" equation, and now that we have the
24 new "k" equation, and it's much broader, we can delete
25 the non-standard chiller tables 112H, I, J, K, L, and M.

1 The prescriptive path, we're proposing to require
2 Path B and this is based on lifecycle cost analysis,
3 which I'll be showing you here this morning. And we'll
4 provide exceptions as noted in some of the following
5 slides that are responses to industry comments that we've
6 received in previous workshops. And then, the
7 performance path will have a budget system that follows
8 the prescriptive requirements. So, although we're going
9 to be more restrictive than 90.1 is, and prescriptive by
10 requiring Path B as opposed to alternately Path A or Path
11 B, one could get by with a Path A Chiller minimum
12 requirement and trade off that energy elsewhere in the
13 building.

14 So the first thing I'm going to change is the
15 definitions, we're going to update the references as was
16 done in 90.1 from ARI 55590 1998 to ARI 5590 2003, you
17 can see this with underline and strikeouts. This table
18 is straight out of 90.1 and the section I've got blotted
19 out there will not be relevant by the time Title 24 2013
20 takes place, so we'll only be looking at the Path A and
21 Path B requirements for various classes of equipment.
22 And, again, we're suggesting that this table, the
23 contents of it will replace Table 112(d) Mandatory Table
24 in Title 24. This is exactly what was adopted in 90.1.

25 There's a number of notes under the table, these

1 are not the exact words in the notes, but it gives you
2 the intent. There are no requirements for centrifugal
3 chillers that are operating at very low evaporator
4 temperatures less than 36° Fahrenheit. Positive
5 Displacement Chillers, again operating at low
6 temperatures, less than 32°, and Absorption Chillers
7 operating at less than 40°.

8 When you comply, you comply either to Path A or
9 with Path B, and you must meet both the COP requirement
10 and the IPLV requirement to comply. And that is from one
11 path, either Path A or Path B. Note C refers to the
12 definitions, which goes back to the ARI 5590 Standard.
13 If it says NA, it means Not Applicable, and if it says
14 NR, it means there is no minimum requirement for that
15 field. Exception to Section 112A, it used to say "Water
16 Cooled Chillers, blah blah blah," this is all the non-
17 Standard stuff. We're getting rid of that because the
18 new "k" equation will take over, and here is what the new
19 "k" equation says -- I'm not going to read this, but this
20 is straight out of 90.1, nice bit of mathematics down
21 there. And again, just straight out of 90.1, and we
22 would be putting this in as an exception to Section
23 112(a), which refers to the chiller efficiencies.

24 Proposed Code change prescriptive - it's whatever
25 is the lowest lifecycle cost. I can tell you, as of last

1 night, Path B came up again as being cost-effective. We
2 did this previously with the AHRI's chiller curves, the
3 same ones they use to evaluate the Addenda M impact, for
4 90.1, and found some errors in the curves after we did
5 our analysis, so we then went and re-did the analysis
6 with real machines that we had data from, from
7 performance-based bids, and that fit. As I'll mention
8 later, we took these curves that represent real
9 performance off of real machines, and fit them to the COP
10 in each category, the baseline Path A and Path B, and
11 then checked to see which curve gave us the closest fit
12 to the IPLV when you calibrate the curve to the COP. And
13 that's what we'd use.

14 So, we're providing exceptions, I mentioned
15 earlier there were some industry comments that these
16 variable speed-driven chillers, Path B, aren't always the
17 most effective and one issue that was brought up was that
18 the cost curves that we used from HRI did not take into
19 account the increased cost for high voltage chillers, so
20 12 kva or the 2130, or 4160, I think, are the two
21 voltages, high voltages, that people use. To put
22 variable speed drives on chillers at that higher voltage
23 has a very high increased cost, and so we're going to
24 give an exception to this prescriptive requirement for
25 high voltage service.

1 Chillers attached to heat recovery systems often
2 need to have a little bit more lift, a fixed speed
3 chiller is often used for this, and so we're saying if
4 the heat recovery capacity is greater than 40 percent,
5 the design cooling capacity will allow them to use a Path
6 A chiller, or Path B, either one. It just won't require
7 Path B. Chillers used to charge thermal energy storage
8 systems, again, it's a high lift condition where the
9 charging temperature is less than 40°. We would then be
10 able to use either path under the prescriptive and
11 chillers installed in plants with no more than three
12 chillers, and there the issue was if you have four, five,
13 or six chillers, then the unloading characteristics of
14 any individual chiller would become less important
15 because you have now multiple stages by the fact that you
16 have many many machines. So, all those were in response
17 to industry comments.

18 We received a letter from Trane Co. and this is
19 summarized here, the actual letter is a part of the case
20 report that's now up on, I think, the Energy Commission
21 website. There was an issue that they believe we misused
22 IPLB in the analysis and the correction is that we didn't
23 actually use IPLB, we used full DOE2 curves, so we didn't
24 just use a point of data that represented four points of
25 operation, but we actually modeled these things in an

1 8760 model, using eQuest and useful curves. And we
2 actually had a stakeholder workshop last week and Trane
3 admitted that they didn't fully understand the analysis
4 and so they feel that this is resolved.

5 We failed to factor in cost for VFD's [ph.] was
6 brought up, but we used ARI's cost, which I'll show you,
7 for the analysis, and that did include in Path B the cost
8 of the variable speed drives, and I also point out that,
9 when we go out and do performance-based chiller bids, and
10 our company does a lot of these for facilities we're
11 building, variable speed drives, when the lifecycle cost
12 analysis for, you know, real lifecycle cost for customers
13 using their discount rates in their lives for equipment,
14 so they have been, in fact, included and, again, that was
15 a point that was conceded at our meeting last week with
16 the exception of the high voltage cost premiums for high
17 voltage variable speed drives, but we provide an
18 exception to get around that, or to address that.

19 We failed to factor in electric demand and, in
20 fact, the TDVs employed in the analysis do include
21 electrical demand, electrical energy, and some T&D costs.
22 And Mazi had mentioned earlier that the report on the
23 TDVs is up on the CEC's website and available for
24 everyone for review, and again, this point was discussed
25 at our workshop last week and seemed to, again, the

1 authors of the letter were fine with the response.

2 And then, these are other issues that were
3 brought up and all of them, now, we've provided
4 exceptions in the proposal to address them.

5 So, as I mentioned earlier, we did a DOE2 model,
6 it's a five zone per floor, 15-zone model, so north,
7 south, east, west, kind of the classic Title 24
8 nonresidential model, 10 floors, 100,000 square feet, you
9 can see the occupancy lighting and equipment assumptions
10 in there. The plant was two equally-sized chillers.
11 We've received actual data from some manufacturers that
12 we unfortunately cannot share because it was sent to us
13 as a proprietary data, but they got it from their service
14 organization, that showed that, in fact, two equally
15 sized chillers is probably the most - is the most
16 prevalent distribution of chillers. And certainly in our
17 experience as a design firm, that's what we see most. So
18 that's what we modeled, two equally sized chillers,
19 chiller size based on the load. We have one two-cell
20 cooling tower, so these are water cooled chillers and
21 then we have air cooled chillers as just two equally
22 sized chillers, and then the other conditions are down
23 there below.

24 The Climate Zone 3, I'm going to show you
25 actually eight climate zones, the analysis, but here's

1 the load profile for Climate Zone 3 in a building that
2 meets the minimum requirements of Title 24, which
3 includes economizers, either air or water that, in this
4 case, add air size Economizers, lots of hours at very low
5 load. The blue line is the chiller, the red line is the
6 lag chiller. So you can see how they're loaded.

7 Okay, so I'm now going to go through eight
8 climate zones, they're all going to look very similar.
9 The scale changes on the left, this goes from zero to
10 \$6,000, and that is a 15-year lifecycle cost per ton
11 using the TDVs, so it's got the first cost premium, the
12 chiller, and the energy cost using TDVs. The blue lines
13 are the baseline efficiency, which would be Title 24 2008
14 base, and the red line is Path A, and the green line is
15 Path B. There is no green line for air cooled chillers,
16 there's really only a Path A, but you can see there's a
17 green line on these charts, I apologize, again, I
18 received the data very late yesterday and didn't have a
19 chance to clean them up. But the other categories
20 starting with the water cooled positive displacement,
21 that's a WCPD and what are called Centrifugal, different
22 size ranges, they each have a separate baseline Path A
23 and Path B. The thing to note here is this is present
24 value of the first cost of the machines and the energy
25 costs, and in every case, Path B - this is for everything

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 but air cooled - is the lowest in each category. Same
2 thing in Climate Zone 6, Climate Zone 7, Climate Zone 8,
3 Climate Zone 9, Climate Zone 10, Climate Zone 12, Climate
4 Zone 13. These eight climate zones represent 85 percent
5 of the new construction starting in 2013, according to
6 the Dodge [ph.] database.

7 So, the incremental costs we got, we do not go
8 out and get costs for these chillers, HARI already did
9 that as part of their work with 90.1, to show that these
10 requirements for Path A and Path B were cost-effective,
11 and these are incremental costs for Path A and Path B
12 over the minimum based standard, and these are in dollars
13 per ton, so we used exactly the same data that they had.
14 So, next up, so we have to complete the analysis for the
15 remaining climate zones and then we have to recalculate
16 the statewide savings. As I mentioned earlier, we did
17 this for all the climate zones with the curves we receive
18 from HARI and, then, to our chagrin discovered that the
19 curves had some errors in them. So, that's why we're
20 redoing it.

21 Mazi, should we wait and take questions at the
22 end of all of this?

23 MR. SHIRAKH: I say let's take questions for this
24 topic now before we move on, we have got plenty of time.
25 Any questions in the room related to the Chiller report

1 of efficiencies? How about online? Our driver is not
2 here. Can people online, can somebody speak so I can --
3 can somebody say hello?

4 MR. HYDEMAN: Yeah, I'm going to go through these
5 next three slides. We cannot hear anybody online and I
6 suspect that there are some comments, so we'll wait until
7 the technician comes back and we'll address your
8 questions, but for right now, let me go ahead and go
9 through the air cooled chiller issue.

10 There's been some concern by people who are
11 involved on the CEC side with compliance issues with the
12 air cooled chiller limitation in 144(i), this is an
13 existing requirement that we put in, I think, in 2005.
14 And the issue that was brought up is that there's a lot
15 of confusions over how to apply this requirement and it
16 appears that people are sometimes actually gaming systems
17 to get compliance with air cooled chillers, and we've
18 seen data, by the way, from HARI that shows that
19 shipments have gone way up in air cooled and way down in
20 water cooled and, in fact, we know from the analysis we
21 did in 2005 that air cooled chillers are not as efficient
22 as water cooled chillers in our climates.

23 So, one of the issues brought up is, if somebody
24 puts in a 299-ton chiller, could it be all air cooled
25 because the limit currently is at 300 tons. But however

1 above 300 tons, you can only have 100 tons worth of air
2 cooled, so people are sometimes providing multiple
3 permits, so they put in chillers one at a time at 299
4 tons and can build up a 900 ton plant.

5 People put in two very large chillers whose
6 combined capacity would exceed the 300 ton limit and they
7 put an interlock in it and then they subsequently come
8 and get rid of the interlock and now they can run both
9 chillers, so same thing. People put in smaller than 300
10 ton air cooled chillers in a series of permits, so I
11 think I already addressed that issue. And then, finally,
12 there's kind of an interesting lack of coordination
13 between 144(i) which is this prohibition on air cooled
14 chillers, or limitation on air cooled chillers, and the
15 sizing requirements we have for equipment in 144(a). So,
16 the proposal to clean this up is to change 144(i) and
17 149, which is the renovation and retrofits section, so
18 I'm showing 144(i) here and then I'll go to the
19 renovation section in a moment. 144(i), we're saying
20 that chilled water plants shall not have more than 300
21 tons provided by air cooled chillers. This makes the
22 intent very clear, whether it's a new plant, or an
23 existing plant, that once you reach your limit, then you
24 can't add anymore air cooled chillers, the next steps
25 have to be water cooled. And so it gets rid of all that

1 confusion.

2 And then, I've cleaned up some of the language
3 under Exception 2, to match the proposed language that we
4 have for an exception for thermal energy storage systems
5 under the other proposal we talked about this morning,
6 the prescriptive proposal.

7 And under Proposed Changes to 149(c), Additions
8 and Alterations, we're recommending that we just simply
9 strike this because now the language in 144(i) applies to
10 the total tonnage of air cooled chillers in a plant. We
11 don't need to redefine under 149 what happens in an
12 existing plant when you're doing an expansion, and this
13 simply just renumbers the previous exceptions. And we
14 just need to get feedback on this proposal, so that's
15 about it.

16 Lifecycle Cost Analysis, by the way, for this
17 proposal, back in 2005 and still to this date, it is
18 posted on the CEC website if you go to the 2005 Standard
19 and look under Workshop Reports, you can find it. It's
20 hidden under the Cooling Tower Measure Report. With
21 that, can we open the floor to questions from the Web?

22 MR. SHIRAKH: We have Ron back in the room. Ron,
23 can people online be heard? Before, we couldn't hear.

24 MR. HYDEMAN: Let's try that and if it becomes a
25 problem, then we can have them raise their hands and

1 we'll get them.

2 MR. SHIRAKH: Richard, I think we can hear you if
3 you want to make a comment.

4 MR. LORD: Can you guys -

5 MR. HYDEMAN: Yeah, we can hear you, Dick.

6 MR. LORD: Okay, just a couple quick comments.
7 Look, the HARI analysis was not wrong, it used a
8 different method than you're using - so the stuff we did
9 for ASHRAE is correct. The preliminary curves I
10 developed, as you know, do have an error in them, but
11 those are not HARI curves, they are my curves.

12 MR. SHIRAKH: We have a Court Reporter here and
13 he needs to get your name and your affiliation.

14 MR. LORD: Yes, Dick Lord with [inaudible].

15 MR. HYDEMAN: Okay, Dick, I didn't mean to -

16 MR. LORD: Not a big deal, Mark, I understand
17 where you're coming from.

18 MR. HYDEMAN: I just wanted to say that there was
19 an issue with the curves and I know that P&L [ph.]
20 decided not to use them and we're trying to match what
21 you did as a member of this working group in the
22 analysis, so we used real chiller curves, we didn't have
23 access to all the data that you had access to, and we
24 matched the COP and IPLD and we're happy to send you
25 those spreadsheets.

1 MR. LORD: Yeah, what you do is good, I mean, I
2 understand that and, you know, the issue is my fault, but
3 you know, the analysis done for ASHRAE 90.1 is correct
4 because it was done with a different method.

5 A couple other things, Mark, is - it's a minor
6 one, you're changing the reference to HARI 55590 2003,
7 within about a month it's going to change to 2011. It
8 shouldn't impact any of the stuff that you've done here,
9 it does have a lot more details on testing qualification,
10 instrumentation, and a lot of other just little minor
11 corrections to the standard, so my suggestion would be is
12 you change yours to 2011, anticipating this is going to
13 be released.

14 MR. HYDEMAN: The one thing I'd ask you, Dick, if
15 you don't mind, just shoot me an email copy of the draft
16 2011, just so I can review it.

17 MR. LORD: Sure.

18 MR. HYDEMAN: Great.

19 MR. LORD: We can do that, yeah. I'll mark it
20 "preliminary" just because it hasn't gone through a final
21 vote and we've got a couple editorial corrections.

22 MR. HYDEMAN: Great, thanks.

23 MR. LORD: And the other minor thing I noticed,
24 you noted that positive displacement chillers can run to
25 32° F, that's not the case, actually water freezes at

1 32°, so we don't let them run at 32°. What we did in
2 90.1, and go back and look at the words, is we said any
3 positive displacement chiller that has a fluid for freeze
4 protection and a set point above 32° F, has to be
5 certified and show compliance with the standard by
6 operating at the standard ARI rating point. And that's
7 the language you really ought to put in Title 24.

8 MR. HYDEMAN: Well, again, what you're looking at
9 here is a synopsis of the actual footnotes because it was
10 too hard to get the actual footnotes into the slide, but
11 I plan - if you look at the workshop report, I'm taking
12 the exact language that's in the footnotes from 90.1, so
13 I think, you know, the intent here is to have exactly the
14 same language that 90.1 has.

15 MR. LORD: Okay, yeah, we just did that and that
16 was kind of a big deal, it's not as big a deal in
17 California, but you know, a lot of chillers were getting
18 around the qualification criteria because it's charged
19 with Glycol, so it's outside the scope of the standard.
20 And that's what that note was all about.

21 MR. HYDEMAN: Okay, so I'll make sure you get a
22 chance to review those footnotes and that we've got them
23 right, but I literally pulled the text - if you look at
24 the case report, which should be posted hopefully by the
25 end of the day today, the draft case report, the

1 footnotes that we have are exactly the same verbiage
2 that's in 90.1 2010.

3 MR. LORD: Okay, good. I just wanted to double-
4 check on that, just to make sure. All right, and those
5 are my questions.

6 MR. HYDEMAN: Thank you, Dick.

7 MR. BURDICK: Mark, this is Lee Burdick from
8 Trane. Can you hear me now?

9 MR. HYDEMAN: We can, Lee. And thank you for
10 giving us your affiliation, as well.

11 MR. BURDICK: Okay. A question for you with
12 respect to the analysis that you re-ran. Looking at Path
13 A, Path B, did you use any combinations of Path A and
14 Path B?

15 MR. HYDEMAN: We did not, Lee. We said that we
16 would go ahead and run one or two test cases with a mixed
17 plant, and I'm happy to share that analysis with you when
18 I get it, but we were scrambling to get eight climate
19 zones with the base analysis, so, I will send that to you
20 as soon as we do it.

21 MR. BURDICK: Okay. The only thing that I've got
22 any problem with at this point is in the prescriptive
23 path where you're saying use only Path B, if you said use
24 Path A, Path B, or a combination, based on lifecycle
25 cost, then I think that leaves it free for designers to

1 explore combinations of A and B, and it still is based on
2 lifecycle cost. So, my suggestion would be to add in
3 there A or B, or a combination of A and B.

4 MR. HYDEMAN: Well, that would be the same as
5 striking the prescriptive requirement because, under
6 mandatory, they could do either A or B and, so, what we
7 have in here is similar, again, in that we're setting a
8 bar that says the bar is based on a plant that has Path B
9 minimum requirement chillers, and if someone wants to go
10 and come up with a better mousetrap, they found a way to
11 control Path A chillers, or a combination of Path A and B
12 chillers, they can still do that. Being a prescriptive
13 requirement, this merely sets the basis for the
14 performance method and, in the performance method, you
15 could take a plant with nothing but Path A chillers and
16 show that that plant, as operated in the performance
17 method, used equal or less energy, using the TDV values
18 in California, than the Path B chiller that's mandated
19 under the prescriptive, so, in a sense, we're doing that
20 by putting this in the prescriptive, not in the mandatory
21 measures.

22 MR. BURDICK: But as long as the prescriptive
23 path is based on lifecycle cost, and I think that's
24 proper, then why do we need to specify it be A, or B, or
25 a combination, simply leave it open?

1 MR. HYDEMAN: Well, it seems to me that if you
2 leave it open, you might as well - what you're saying is
3 we should not have a proposal here that says -

4 MR. BURDICK: What I'm saying is, you know, in a
5 practical way, if it's based on lifecycle cost, and what
6 you're telling us, based on your experience, is you see B
7 as the best way, and at least in most cases, fine, that's
8 the way it turns out. But it leaves at least the
9 opportunity for combinations of A and B to be the lowest
10 lifecycle cost, and that that be, then, the basis.

11 MR. SHIRAKH: I think what Mark is saying - this
12 is Mazi at the Energy Commission - is that, by picking
13 Path B, basically what we're doing is we're establishing
14 our performance budget based on Path B, so that's the
15 framework for what the performance budget should be.
16 Now, if you go to performance, you can do either/or. It
17 doesn't really restrict you from doing Path A or a
18 combination, or using the performance, or anything else,
19 it just - you're going to be compared against a building
20 that has Path B equipment in it, but you can do anything
21 you want.

22 MR. BURDICK: But I think, if I understand it
23 correctly, that the intent here is that the budget system
24 on a performance path be the lowest lifecycle cost. And
25 if a combination of A and B provides the lowest lifecycle

1 cost, then you're not getting that into the budget
2 system.

3 MR. HYDEMAN: Well, Lee, if I could speak on
4 this, again, these standards are not correct for every
5 case, they have to be correct for the majority of the
6 cases, and that's why we do all the analysis that we do
7 on them. And albeit the analysis is somewhat simplified,
8 it does cover a wide range of the applications, and so
9 it's largely correct to say Path B, given the cost that
10 the HARI developed for the 90.1 work and the curves that
11 we have in the climates of California, with the TDV
12 values we can now say that Path B in a two chiller plant,
13 with both chillers, is the lowest lifecycle cost - as we
14 showed in the eight climates that we've done. Now, that
15 doesn't mean that we've done every single case, right?
16 We've got equally sized chillers, not unequally sized.
17 We've done it for a prototypical office building, you know,
18 there are all sorts of other facilities out there. But
19 this covers a large percentage of the applications, and
20 so, again, it's consistent with what we've done in other
21 - people have done in developing requirements for Title
22 24.

23 MR. BURDICK: Okay, I follow what you're saying.
24 I guess, just to emphasize my point, is that you needn't
25 constrain the use of A or B, or combinations, to achieve

1 your objective.

2 MR. SHIRAKH: Again, if I understand correctly,
3 we're not constraining, we're just setting the budget
4 based on Path B, which Mark has demonstrated it is the
5 lowest in most cases and climate zones in California;
6 there could be exceptions to it, but, you know, we have
7 to set our budget based on something and there seems to
8 be pretty good rationale for using Path B. But, again,
9 that doesn't constrain any sort of alternative to that.

10 MR. BURDICK: Uh huh, well, I follow what you're
11 saying, you know, it would be interesting to see what
12 Mark comes up with if he gets the opportunity to look at
13 combinations based on the surveys and analysis here.

14 MR. SHIRAKH: Okay, I think he has offered to do
15 that.

16 MR. BURDICK: Yes.

17 MR. HYDEMAN: Okay, is there any other questions
18 or comments? Okay, if you're trying to speak out there,
19 the best thing to do is to type in a message and then
20 we'll know to unmute you, or raise your hand. Okay, so
21 anymore comments on this, either from people here or out
22 in the Webland? Okay, well, thank you very much and,
23 Mazi, are you ready to switch to the other one, then?

24 MR. SHIRAKH: We also presented the Air Cooled
25 Chiller topic. Any comments on the Air Cooled Chiller?

1 Clarifications in the room or online? I hear there are
2 no questions, so we're going to move to the Cooling Tower
3 Efficiency topic. Again, we're a little bit ahead of
4 schedule, so we're just going to talk about this topic
5 and, if we're done early, we'll just have a nice long
6 lunch.

7 MR. HYDEMAN: Are you concerned about people
8 calling in for this later?

9 MR. SHIRAKH: No, but we can talk about the
10 Cooling Tower, but I think we need to break and then
11 regroup for the afternoon topics because, yeah, then I'll
12 be concerned about people not being dialed in.

13 MR. HYDEMAN: Okay. Okay, so I'm going to go
14 ahead and move to the Cooling Tower Energy Efficiency
15 stakeholder topics and, again, just like we did with the
16 chillers, this is probably the fourth or fifth time we've
17 presented material on this, and it's changed again in
18 response to comments. We received on our original
19 proposal a letter from members of TC 8.6, that's the
20 Cooling Tower TC, actually, I think it's evaporative
21 cooling, or something like that, the name of the TC, but
22 essentially the manufacturers of the Cooling Towers and
23 people - there are also engineers and others that are
24 members of 8.6, but, anyway, the letter that was written
25 had a number of issues that were raised and we tried to

1 address those in this revised proposal.

2 So, cooling tower efficiencies in both 90.1 and
3 Title 24 have been largely unchanged, in fact, with one
4 exception; in the case of California, we actually put a
5 limitation on centrifugal cooling towers and that now got
6 adopted in 90.1. But the actual efficiencies, the gpm
7 per horsepower at 95/85/75 had not changed since we
8 developed them for the 90.1 1999 standard. At the time
9 that we did that, we did not do thorough analysis, it was
10 the first time the cooling towers had any regulations
11 whatsoever, and it was just an agreement between the
12 manufacturers, members of TC 8.6 at that time, and the
13 90.1 Committee, to cut out the bottom approximately five
14 percent of the market. And that's what we did with the
15 efficiencies that we have. And there was no analysis at
16 the time to determine the efficiency levels. Like
17 chillers, cooling towers are not federally preempted,
18 but, again, Title 24 followed 90.1, we added a
19 requirement for variable speed drives, both the 90.1 and
20 Title 24 for 7.5 horsepower and above, fans on cooling
21 towers. And in 2005, we added a requirement for minimum
22 flow at Section 144(h)(3), it's a prescriptive
23 requirement, and the idea there is that it is always more
24 efficient to run as many cells of cooling towers as
25 possible. Every time you double the cells, you drop

1 three-quarters of the energy for the same heat rejection.
2 In 2005, we also put in a restriction on centrifugal fan
3 cooling towers, they use twice the energy for the same
4 service, generally, as propeller fan towers. And a
5 similar provision is now in 90.1. ASHRAE 90.1 added
6 requirements for Closed Circuit Cooling Towers in the
7 2010 Standard, and so we're going to pick those up, as
8 well.

9 So the measure scope is - the prescriptive scope,
10 what we're going to recommend, is for new construction
11 only and we're not going to propose it for replacement or
12 expansion, as space is often limited, so if you've got an
13 existing roof, you've got an existing structure, also
14 there is the issue that you can't mix towers together,
15 the basins, atmosphere is atmosphere, the top of the
16 water basins have to be at exactly the same level and if
17 you don't do that, bad things happen like water going
18 down, out of the tower basin, into the building, and
19 people generally don't like that. It covers commercial
20 industrial and institutional, and we're talking about
21 evaporative cooling towers.

22 Proposed Code change - in mandatory, add
23 requirements, straight out of 90.1 2010 for closed
24 circuit cooling towers, and we're not going to touch the
25 open towers. I didn't put it here, but I did put it into

1 the case study, so the report that we've got up on the
2 website, we've added a definition for CTI ATC-105S, which
3 is for closed circuit cooling towers, taken straight out
4 of 90.1.

5 Under Prescriptive, we're recommending a minimum
6 efficiency for cooling towers, and this is prescriptive
7 only, it sets a basis for the performance method, so it
8 does not prohibit the use of less efficient towers, but
9 you have to go the performance method, and we're setting
10 it at 80 GPM per horsepower rated at the CTI ATC
11 conditions of 95/85/75, and we previously were showing in
12 our analysis that a higher efficiency was justified for
13 24/7 facilities, but we're pegging it at 80 gpm per
14 horsepower in response to some of the industry feedback
15 that we received at the last workshop.

16 Again, for new construction only, we're
17 recommending for 24/7 facilities that we have a maximum
18 approach of 5°, and that would be for things like data
19 centers, manufacturing facilities, and laboratories, but
20 no requirement for office buildings, and I'll show you
21 why in a moment.

22 And then, finally, the minimum flow turndown
23 turns out, even though we went and we surveyed the
24 manufacturers when we put this in in 2005, and everyone
25 said they could live with the 33 percent, in practice

1 that's been very hard for them to achieve. Since the
2 most common plant is two chillers, two tower cell plants,
3 we're going to increase this up to 50 percent. The
4 intention is not, you know, it's to make it high enough
5 that manufacturers are not jeopardizing the tower
6 performance by meeting the requirement, and this has been
7 based on several years of feedback.

8 Analysis - we did an office building, a nominal
9 900-ton load, but we sized the chillers to be in excess
10 of that, which is quite difficult, so it is a two chiller
11 plant, equally sized, each at 500 tons, meeting a 900 ton
12 peak load with two cell cooling tower. The cooling
13 towers were designed for 50 percent flow turndown, and we
14 used eQuest to develop the load profile, but then to
15 actually look at the cooling tower performance and the
16 plant performance, we used what we're calling the top
17 model, which is a way of optimizing the control
18 sequences, when you have things like variable condenser
19 water flow and variable speed drives on the cooling tower
20 cells, and lots and lots of choices. What it basically
21 does is it discovers out of all the modes of operation,
22 the one that operates most efficiently, so it basically
23 tells us what the potential is for the set of equipment
24 that's on the building. The input is, again, data we got
25 out of an eQuest model, outside air dry bulb and wet

1 bulb, so the weather data, the chill water load, the
2 flow, the tons, chill water supply temperature, and
3 return temperature from the eQuest model, and then we get
4 data specifically on individual pieces of equipment which
5 we calibrate to the chillers, the towers, the pumps, the
6 heat exchangers if we have water side economizers. And
7 then we step everything through the modes of control, so
8 we look at every hour, the load, and we vary the number
9 of chillers, one or two. With the cooling towers, we
10 always run the maximum number that are allowable within
11 the flow limits because we know that's always the most
12 efficient. The condenser water flow, we actually go from
13 10 percent to 150 percent, in 10 percent increments, and
14 the cooling tower fans from zero to 100 percent in 10
15 percent increments, and every hour we look at the load
16 and we say, "Has the load been satisfied?" If it has
17 been satisfied with that condition, we store the data, if
18 it hasn't, then we throw the data out and it's not
19 considered, and then we take every hour and we look at
20 the plant energy for each hour, take the minimum plant
21 energy, add up the sum of the minimums and that is the
22 score for that plant, or the kilowatt hours. In the case
23 of using Title 24 TDVs, it's the lowest TDV value for
24 each hour summed up, over the year.

25 Okay, the original simulations were run in

1 Oakland, Albuquerque and Chicago, we just ran the same
2 eight climates I showed you for cooling towards, and the
3 towers that we used, we had literally 12 different
4 towers, and I'll show you the models in a moment. They
5 represented different approaches and three levels of
6 efficiency. So, the approaches vary, depending on the
7 application, so the approach changes with the wet bulb,
8 but the Tower A was roughly three to five degree
9 approach, Tower B was five to seven degree approach,
10 again, depending on climate, Tower C is seven to 10°, and
11 Tower D is nine to 12°. We looked at it both with a Path
12 A and Path B chiller initially when we did the runs for
13 90.1, and you'll see in our analysis, we initially did it
14 with both A and B, but, again, we had the same problems
15 with the curves that we did with the chillers, and we've
16 now summed up the analysis for the Path B, which is
17 consistent with our chiller proposal for prescriptive.

18 So 12 towers, low, medium and high efficiency, a
19 range of 45 to 100 gpm per horsepower, and four
20 approaches going from roughly five to 12 degrees. And
21 then we got contractors cost, freight on board to job
22 site, from a vendor, and added 28, almost 29 percent
23 contractor's mark-up, that's for the general and for the
24 sub, and 50 percent installation on top of that for
25 installation cost premium to account for structure,

1 drayage, all those other things. Here are the models
2 that we had, these were all from one manufacturer, VAC,
3 but towers are fairly similar, in fact, there's one tower
4 model in all the programs, one set of curves that fit all
5 of the towers, and we did a research project as part of
6 the Cool Tools project that actually took as much data as
7 we could get for manufacturers and showed that all towers
8 really do collapse down to one set of curves if you look
9 at it right. So, you can see the range of pumping
10 horsepower, so that was taking into account each of the
11 models does, in fact, include the specific penalty for
12 head off of the cooling tower, the motor sizes that are
13 off there, and the nominal gpm per horsepower at the
14 rating condition of 95/85/75. The tower names, L, M, and
15 H are Low, Medium, and High efficiency, and 01 to 04 goes
16 from a High range to a Low range at 01, the closest range
17 to a high range approach. Let me try it again. 01 to 04
18 are the approaches, bigger horsepower means that you
19 could drive closer to the web bulb, so 1 is a close
20 approach, and 4 is a high approach.

21 So I'm going to show you the same eight climates
22 in four slides, so these are groups of two climates. You
23 can see Climate Zone 3 and Climate Zone 6, all 12 towers
24 for each climate, and the cell that is red is the lowest
25 lifecycle cost, including the tower cost, with the

1 markups I mentioned earlier, and the energy costs, the
2 TDV over a 15-year life. So, those are the last three
3 columns. And if you're interested in how the actual
4 plant ran, here is the individual kilowatt hours per year
5 for each of the components - chiller, tower, chill water
6 pump, condenser water pump, total, and then this is a
7 converted 15 years' worth of present value TDV energy
8 cost. Tower installed cost, including the markups that I
9 mentioned earlier, and these two together are the net
10 present value of the lifecycle cost. So, the lowest
11 lifecycle cost per climate in each case is H04, which is
12 the high approach, high efficiency tower. So, this is 3
13 and 6, same results, this is 7 and 8, exact same results,
14 this is 9 and 10, exact same results, this is 12 and 13,
15 exact same results, so, again, these eight climates
16 represent 85 percent of the construction activity in the
17 Dodge [ph.] database.

18 These are runs that we did earlier as part of
19 that 90.1 study that we were doing, but for the Oakland
20 climate, Climate Zone 3, and we found that when we
21 expanded the data and the hours of operation, basically
22 taking the energy here and multiplying it by four, that
23 although office buildings appeared not to want to have a
24 close approach, a data center, or other 24/7 facility,
25 because of the increased energy use for the same fixed

1 costs of the tower, it is justifiable to have a lower
2 approach. And the current requirement is written as
3 based on this preliminary analysis and we need to re-do
4 this analysis specifically for data centers.

5 Okay, later today there is a presentation on
6 cooling tower water usage and there will be information
7 on the cooling tower market in that presentation. Here
8 is a proposed co change - changes. I was unable to do a
9 nice underline and strikeout for the table 112g here on
10 the slides, but basically we're adding the closed circuit
11 fluid coolers and you can see the efficiencies there,
12 they're about half that of the open towers and, again, I
13 mentioned earlier, there is a new standard that we have
14 to reference, the CTI ATC-105S, and that's in the report.

15 And then prescriptively, this is all the stuff
16 that's under 144(h) for cooling towers, and we're not
17 changing anything on the fan speed control. We are
18 recommending, again, an increase of the minimum flow per
19 cell in response to issues the industry has had and
20 raised. We're striking out all of this stuff about the
21 limitation of centrifugal fan cooling towers and just
22 making it an efficiency requirement based on gpm per
23 horsepower, so if somebody comes up with a super
24 efficient centrifugal fan cooling tower, that's fine, as
25 long as they meet the 80 gpm for horsepower. And then

1 there's an exception for new towers added to an existing
2 condenser water system, so this is to address the fact
3 that, if you've got an existing footprint, you've got an
4 existing structure, we're not requiring you in a retrofit
5 to put in this really big tower that may or may not fit
6 where the other towers are.

7 For 24/7 facilities, we're requiring a maximum
8 approach of 5', a design condition, and again, an
9 exception for new towers added to existing condenser
10 water systems. The letter from TC 8.6 is in its entirety
11 attached to the case report, but here is again a
12 synopsis, just like we did with the chiller letter.
13 There is a negative impact on product offering, I think
14 specifically they said 100 gpm for horsepower was
15 represented only by 10 percent of the products; and in
16 recognition of that concern, we dropped the maximum
17 efficiency from 100 down to 80; may drive the market to
18 less efficiency systems, and unlike 90.1, we have a
19 prescriptive limit on air cooled chillers. That's
20 important because, again, as I said, most of the country,
21 the rest of the country, at least from the sales data
22 we've seen from the HARI, is that the sale of air cooled
23 chillers, which are the less efficient, are on the rise,
24 and water cooled chillers are going down. So, we don't
25 want to drive people to that market.

1 There was some comment from 8.6, as well, that
2 they're worried about competing with Package DX, but in
3 our experience, in the facilities we've designed, people
4 pretty well know based on the footprint of the facility,
5 and how they want to operate the facilitate, whether
6 they're going to go with a bunch of package DX units, or
7 a chill water system. Some buildings, you can't get by
8 with anything but a chill water system, and we do lots of
9 data centers, high rise buildings, very hard to do with
10 package DX, although water source heat pumps, or water
11 source air-conditioning units can be used.

12 Increased customer cost was raised, but, again,
13 that was accounted for in the lifecycle cost analysis, so
14 we're following the TDVs and lifecycle cost criteria that
15 all the other standards are.

16 Increased footprint - so, again, we're putting
17 this increased efficiency into the prescriptive setting
18 the bar for the performance of the building, and if
19 you've got a limited footprint in your facility and it's
20 a new facility, then you can go with the performance
21 approach and get by with a smaller tower, but make up the
22 energy elsewhere.

23 They mention that they thought that these larger
24 towers would require more sophisticated controls, but,
25 really, a tower is a tower, it's a fan, it's either got

1 stage fans or, 99.9 percent of the time, it's got a
2 variable speed drive. And it doesn't matter what the gpm
3 per horsepower is, it's exactly the same in terms of
4 controlling the fan.

5 And then they were concerned about water loading,
6 in particular, getting dry spots in the fill when you get
7 a dry spot in the fill, the air rushes through, flash
8 evaporates the water, you end up with a lot of crud on
9 the fill, the fill doesn't work very well, and you have a
10 deep degradation in the heat rejection. And, in part, to
11 offset this, we're proposing to increase the turndown to
12 50 percent, so you don't want to end up with that ragged
13 edge of where the fill - of where you can go with the
14 tower, but make sure that you keep all the media wedded.

15 And one of their comments was, if you're going to
16 have an efficiency, you should also have a maximum
17 approach, and as we saw in the analysis, it really was
18 not borne out by the analysis for office buildings,
19 however, it does appear to be borne out for 24/7
20 facilities.

21 So, we have to complete this for the rest of the
22 climates and we're going to repeat at least a couple of
23 cases for single-phase chillers just to make sure that
24 it's not completely different than what we got for the
25 variable speed chillers. And then, there's a whole bunch

1 of background material through the models that we used,
2 the cooling tower models, the chiller model, and the
3 overall top model procedure. So, with that, I'll open it
4 up to questions.

5 MR. SHIRAKH: Any questions on Cooling Tower
6 Efficiency from the audience in the room? How about for
7 those online?

8 MR. HYDEMAN: Yeah, for those of you online, if
9 you didn't hear earlier, please either raise your hand on
10 the system, or type in the chat window and we'll unmute
11 you. Go ahead.

12 MR. SHIRAKH: And please identify yourself and
13 your affiliation for our Court Reporter. Thanks.

14 MR. YASNY: Jamy Bacchus is not on the phone, but
15 he typed in, and I don't know his affiliation -

16 MR. HYDEMAN: NRDC.

17 MR. YASNY: He typed in, "Mark, what is the
18 percent of CT products which meet or exceed the 80 gpm hp
19 and has percentage of available products three years
20 before Title 24 became effective ever been used to rule
21 out or include a measure in Title 24?"

22 MR. HYDEMAN: I don't have the data; there are a
23 number of cooling tower manufacturers on the line, does
24 anybody want to take swag at that? I will tell you that
25 cooling towers, again, are fairly simple devices, they

1 have basins typically or spray nozzles, they have media
2 that get wedded, and then they've got fans. And the way
3 you increase the gpm per hp, is you drop the hp on a box,
4 so, for a given box size, you just drop the hp until you
5 meet the gpm per hp rating, meaning you have more media
6 for the hp and the fan, so I think that almost any box
7 could meet the 80 gpm per hp, at least propeller fan
8 towers, with a small enough motor, but I'm not going to
9 say that categorically.

10 MR. HEGG: Gentlemen, this is Trevor Hegg,
11 Evapco, chiming in. Can you guys hear me?

12 MR. HYDEMAN: Yes.

13 MR. HEGG: All right, just want to make sure
14 because our notification, it doesn't look like we're on
15 the line, but one of the things, we've done an analysis
16 of our product line and the 80 gpm level, or the original
17 30.2 allowed all the 80 product line, by the requirement,
18 going to 80 gpm lowered it only to 28 percent of the line
19 to satisfy the requirement. So there is going to be a
20 significant limitation on what products are available to
21 meet this efficiency standard. We agree that the
22 efficiency standard should be raised, but we kind of
23 question whether 80 gpm is still maybe pushing a little
24 too much in tying the hands of the designers and
25 engineers who are coming up with these facilities.

1 MR. HYDEMAN: Okay, thank you, Trevor. I'm just
2 curious, do you have a rough sense of where things would
3 land if it was 70 or 60 gpm, or - even if you don't -

4 MR. HEGG: Yes. At 60 gpm, 60 percent of that
5 product line would meet the requirement, would satisfy
6 the requirement. That's to say 60 percent of our product
7 line meets 60 gpm per hp. And 42 percent meets 70 gpm
8 per hp.

9 MR. HYDEMAN: Okay, thank you very much. Any
10 other comments?

11 MR. YASNY: And anyone that is not commenting,
12 can you mute your phone so, if we unmute, we won't hear
13 your papers rustling?

14 MR. HYDEMAN: Go ahead, John.

15 MR. MCHUGH: Thanks, Mark. This is Jon McHugh
16 with McHugh Energy. And, Mark, I have a question about,
17 you know, we've seen over time for the various
18 requirements for variable speed of equipment, you know,
19 that those thresholds have come down over time. I guess
20 it's been a number of years now for cooling towers. I
21 was wondering, have we hit that time where basically the
22 thresholds aren't needed anymore for variable speed?

23 MR. HYDEMAN: Jon, you're specifically referring,
24 I assume, to the 7.5 horsepower --

25 MR. MCHUGH: Yeah.

1 MR. HYDEMAN: -- threshold. I think we could
2 probably certainly drop it to 5 horsepower and possibly
3 just get rid of it altogether, and we've got ECM and
4 brushless DC motors, I don't know what the manufacturers
5 are offering now in those areas, but we're seeing this in
6 other areas like Kraw units, air handling units, you
7 know, like Hunt Air with their direct drive fans that are
8 variable speed, Stolz, others, so it's quite possible.
9 We're looking at this elsewhere in the standard to
10 require variable speed on everything, so it's quite
11 possible that those will drop out. Jeff, do you want to
12 comment on - where is that variable speed requirement?
13 Is that - aren't we doing a separate measure on variable
14 speed? Okay, so that will be covered this afternoon and,
15 certainly, if it gets covered, it will cover all
16 products, including this.

17 MR. MCHUGH: Then, another question related to
18 product lines, I understand that there might be product
19 lines with, you know, different matching of fans to
20 amount of media in a tower, but is there anything that
21 indicates that, you know, this is the current mix, you
22 know, if there is a new rule, that you would expect that
23 the mix would change. I mean, is there any technical
24 obstruction to going to something like, you know, 80 gpm
25 per hp? And, I guess, this I guess goes to probably some

1 of the commenters on the phone, so what sort of
2 limitations are we running into if people basically
3 redesign their product line basically for the same size
4 fill, for using smaller fans, and for larger capacity, if
5 they increase the size of their fill?

6 MR. HYDEMAN: I think that was an open question
7 for those that are online that are actually manufacturing
8 these products.

9 MR. YASNY: Anybody online want to answer that
10 question?

11 MR. HEGG: This is Trevor Hegg again from Evapco.
12 I'm not sure that I had it fully - there are limitations
13 with respect to the design. In our current product line,
14 the new [inaudible] product line, adding more fill, you
15 can look at it in a couple different ways, which I know
16 one of them was to look at increased plant area, and the
17 concern was already proposed that, as you increase the
18 plant area, bottom loading, which has the potential for
19 scaling, spinning, just inefficiency within the unit,
20 which is there and I know there can be ways to address
21 that, but in terms of going vertically, there's sometimes
22 the limitation that going vertically doesn't really add
23 much more anyway, that, as manufacturers, we've stopped
24 our designs because the added capacity [inaudible] not
25 cost effective in terms of the increased capacity for

1 doing so.

2 MR. YASNY: Can everybody mute their phones if
3 you're not talking? Everybody online, please mute your
4 phone? Thank you.

5 MR. HYDEMAN: Okay, thank you, Trevor.

6 MR. MCHUGH: And then, one last comment, which
7 is, in your analysis, are you finding that basically 100
8 gpm was essentially the minimum lifecycle cost, or
9 basically you ran it to what you felt was feasible within
10 the market, and that even if you had gone even further,
11 lifecycle cost would drop even more?

12 MR. HYDEMAN: We're kind of running out on the
13 edge of what we've seen as being feasible on real
14 structures, you know, we went out, for instance, on a
15 data center recently, up in Napa, on an open bid, and
16 everything was based on lifecycle cost, and we ended up
17 with a tower that was in the range of 90-100 gpm per hp,
18 but we didn't get many bids that were more efficient than
19 that, so I think we're kind of running to the edge of the
20 product.

21 MR. MCHUGH: Thank you.

22 MR. SHIRAKH: Any other questions related to
23 cooling tower -

24 MR. MORRISON: It's Frank Morrison.

25 MR. HYDEMAN: Hi, Frank.

1 MR. MORRISON: How you doing, Mark? We certainly
2 have similar numbers to Trevor, and basically the answer
3 is, you know, you're going to go up, increase in plan
4 area for the tower, which is you're going to occupy more
5 space, and I know from your slides here, you include
6 extra costs for that extra space and grillage and the
7 like. Will you be releasing your study here, so we can
8 have a little closer look at it?

9 MR. HYDEMAN: Yes, I've got a draft case report
10 that I will give to the Commission and they will be
11 posted in the case reports. And, Frank, I'd be glad to
12 just shoot you a copy directly, as well, since I know how
13 to find you.

14 MR. MORRISON: Yeah, you're kind of breaking up.
15 I mean, apparently some folks aren't on mute, so it's
16 hard to hear you.

17 MR. HYDEMAN: Yeah, what I said is, yes, the
18 Commission will have a copy of both case reports for the
19 chillers and cooling towers, in fact, it's already there,
20 it's online. I'm getting a nod from Mike McGaraghan
21 because I sent them out last night and apparently they
22 got posted. So, you can get to it, I think, either
23 through the Commission website and, Mike, is it also on
24 the - is there a link on the case website? Okay, so if
25 you have trouble finding it, Frank, just shoot me an

1 email and we'll get you a copy, and you guys are welcome
2 to look at the models, as well. Everything is
3 transparent.

4 MR. MORRISON: I have another question, Mark.

5 MR. HYDEMAN: Yes.

6 MR. MORRISON: The air cooled vs. water cooled
7 chiller data, do you have that specifically for
8 California from HARI?

9 MR. HYDEMAN: No, I don't. The air cooled vs.
10 water cooled is the same stuff that was presented to us;
11 this has to do with kind of a number of units, I think, I
12 remember Dick Lord was the one that presented the data,
13 but it was presented to 90.1 and it's a couple years old
14 now. You know, Frank, in all those seminars we did on
15 air cooled vs. water cooled, there's been two of them, at
16 least, that were sponsored by 8.6, that graph was in
17 those seminars, so if you need me to pick up a copy of
18 it, I can send it to you.

19 MR. MORRISON: [Inaudible] for California, to
20 evaluate the air cooled vs. water cooled limitation that
21 you have in your Title 24.

22 MR. HYDEMAN: I don't have any data that is
23 California specific.

24 MR. MORRISON: Could we ask for that from HARI?

25 MR. HYDEMAN: I would love to have that data, so

1 knock yourself out. I asked for all sorts of things from
2 HARI, and I can't say they've been extremely cooperative,
3 but I think, coming from a TC or, you know, an industry
4 member, you're more likely to get that data than I would
5 be.

6 MR. MORRISON: Okay, because our concern, you
7 know, as Trevor had said earlier, is these towers are
8 going to get larger, obviously, and when you lower your
9 horsepower, you're also dropping your horsepower - gpm
10 per hp, or raising your gpm per hp, but you're also
11 lowering the absolute tonnage of the bottom, but your
12 costs are going to go up and that's our concern, vs.
13 other systems that are not having similar efficiency
14 requirements mandated to them.

15 MR. HYDEMAN: Yeah, I share your concern, Frank,
16 but, again, it's cost justified and if people are really
17 looking at lifecycle costs when they're designing a
18 chilled water plant that is water cooled, they would be
19 putting in larger towers. And so I guess the real
20 question is, are we going to shift the market, and I
21 don't know if there's any evidence that we have shifted
22 the market.

23 MR. HEGG: This is Trevor again. And then the
24 other part of it is, in addition to air cooled, what
25 about forced draft? If the numbers of forced draft

1 become - I guess the concern becomes the goal of energy
2 efficiency, which everyone agrees with doing this and,
3 again, increasing the level, but if nothing is being done
4 on the forced draft or air cooled side, because it
5 potentially - and, again, our gut feeling would be that
6 this opens up the door to other technologies like the
7 forced draft or the air cooled if the market for the
8 induced draft, which are more efficient lines, becomes
9 more limited.

10 MR. HYDEMAN: But, by forced draft, are you
11 talking about closed circuit fluid coolers?

12 MR. HEGG: Forced draft towers.

13 MR. HYDEMAN: Are the forced draft towers
14 excluded from the CTI ATC test standards?

15 MR. HEGG: No, I mean, induced draft and forced
16 draft cooling towers are all part of the CTI
17 certification program, and as I recall there is - yeah, a
18 centrifugal fan open cooling tower has a performance
19 requirement, 20 gpm per hp.

20 MR. HYDEMAN: Right, so my point is, so you're
21 talking about the difference between centrifugal and
22 propeller or axial?

23 MR. HEGG: Well, yeah, exactly, in that if we're
24 increasing efficiency on the propeller or axial fan type,
25 which limits the number - or reduces the availability of

1 the induced draft product like that, for the propeller
2 product, does it open the door for more forced draft,
3 which is actually a higher energy consumer?

4 MR. HYDEMAN: Yeah, so we actually have a
5 limitation on centrifugal fan cooling towers existing,
6 you can see it up there on the screen right now, and if
7 we go to the minimum efficiency of 80 gpm per hp, they'd
8 have to meet that, as well. So, you know, again, I
9 mentioned this earlier, I think we're protected about
10 moving people to forced draft, I just kind of had this
11 like little epiphany here is, do we have a loophole for
12 closed circuit fluid coolers? Which would be horrible,
13 and I think we need to address that, somehow. We're
14 covered on air cooled chillers because we have a
15 prescriptive limit on air cooled chillers, we talked
16 about it this morning. We are covered on the forced
17 draft towers because we have this efficiency target that
18 is not specific to any technology, therefore, you know,
19 if they had forced draft met, that's fine, but very
20 unlikely that they would be able to. But, it seems to me
21 we need to do something to prevent people using closed
22 circuit fluid coolers.

23 MR. MORRISON: Mark, this is Frank Morrison,
24 again. Closed circuit cooling towers are generally much
25 much more expensive than open circuit because, really,

1 you're combining a heat exchanger and a tower together.
2 So what you're looking at there is comparing it, say, to
3 an open circuit tower and a plate and frame heat
4 exchanger. So, I think there are more apples than
5 oranges. The biggest market for the closed circuit is
6 water source heat pump loops.

7 MR. HYDEMAN: Yeah.

8 MR. MORRISON: And then, the occasional chiller
9 plant that's next to the concrete plant where you don't
10 want that concrete dust to get into your chiller barrel,
11 you know, it's very rare you ever sell one on a chiller
12 plant.

13 MR. HYDEMAN: Thank you.

14 MR. MORRISON: But to Trevor's point about the
15 centrifugal - you've taken out the exception for sound
16 inducted installations, which happens occasionally, or
17 there's a need for very very little sound on a
18 centrifugal, or someone wants to put the tower inside for
19 either security reasons, or cold weather climate, which
20 may not occur that much in California, but there are
21 areas where that does happen.

22 MR. HYDEMAN: Okay, so what you're suggesting is,
23 if we do have this efficiency requirement at 80 gpm hp,
24 the exceptions that we had previously for centrifugal fan
25 cooling towers should probably be an exception to this

1 requirement.

2 MR. MORRISON: I would recommend that. I don't
3 know how Trevor feels, but you might want to chime in,
4 Trevor.

5 MR. HEGG: I think that's what we were kind of
6 getting to, is that there's - to me, there's got to be -
7 the verbiage has to be considered - we're trying to
8 promote energy efficiency and there are obviously
9 situations where installation is going to require forced
10 draft, as you mentioned, Frank, and they have to be
11 exempt. I guess one of the things is, is the gpm per hp
12 to both propeller and to centrifugal fan?

13 MR. HYDEMAN: As I wrote it here, it is any open
14 cooling tower. So, basically it says, to meet the
15 prescriptive requirements, you have to have a tower that
16 is rated at 80 gpm per hp, or higher, or you go the
17 performance method. So, it covers both technologies.
18 Any other questions?

19 MR. LINDAHL: Can you hear me?

20 MR. HYDEMAN: Yes.

21 MR. LINDAHL: This is Paul Lindahl from SBX.

22 MR. HYDEMAN: Hey, Paul.

23 MR. LINDAHL: How you doing?

24 MR. HYDEMAN: Good, thanks.

25 MR. LINDAHL: I've been trying to talk here for a

1 while, and I don't know what was going on, but apparently
2 no one could hear me. I wanted to agree with Frank's
3 point and Trevor's about needing to have exceptions for
4 some of the peculiar applications that require extremely
5 low noise and potentially also indoor locations because
6 some facilities are constrained for security reasons from
7 having the towers accessible to where somebody can do
8 something to them. So, I think it's important to get
9 that in there, somehow. Also, I wanted to point out that
10 I posted a couple of questions on the chat and I see
11 there are some other questions that people have on there,
12 as well. I have a concern about the 5° maximum approach
13 for 24/7 facilities, not because I'm worried about 5°,
14 but I'm worried about anything less than 5 because it's
15 outside CTI certification. CTI certification only goes
16 to 5° and, from a practical standpoint, performance
17 testing is essentially limited in the marketplace to a
18 minimum 5° approach. As you get to a lower approach
19 temperature than that, when analysis is done for the
20 test, the impact of any potential errors in measurement
21 is magnified drastically for every degree lower you go in
22 approach temperature, the magnitude of any measurement
23 errors goes up exponentially.

24 MR. HYDEMAN: It's like a signal to noise ratio, that
25 you've got a tenth of a degree or is bigger over one

1 degree than it is over five degrees.

2 MR. LINDAHL: The degree of difficulty in a zero
3 approach is just infinity. So that's a difficult thing.
4 I mean, it can be dealt with, but - and what people
5 typically do when they need to have an approach less than
6 five, so that an analysis can be made to validate
7 performance if there is a performance test, is to go to a
8 lower wet bulb where the approach is five, and the
9 equivalent approach at the design wet bulb could be less
10 than five, if you follow me, you're sliding down the
11 performance curve to a lower web bulb, where the approach
12 is five. And that's not a problem for the manufacturer
13 because, again, you're analyzing back to an approach that
14 is doable. You wouldn't accept any measured approaches
15 less than five, though, during test measurement because
16 of the measurement error impact, it could delay doing a
17 test. Do you follow where I'm going there?

18 MR. HYDEMAN: Yeah, no, that makes sense and,
19 again, as I mentioned earlier, all of our research when
20 we were looking at cooling tower data, which all of you
21 participated in, this has got to be over 10 years ago,
22 you know, we showed that you could take one set of model
23 or one set of curves and fit it to almost all towers.
24 So, obviously, you know, you could get an alternate test
25 point that represented that this tower - or extrapolated

1 that this tower could do the approach of five degrees or
2 less at the design point. So, I guess, do you have a
3 specific recommendation on the approach? I mean, you
4 guys asked me to put in a maximum approach somewhere; we
5 didn't find that, at least within the range of towers
6 that we looked at for the office building, that one was
7 justified, but -

8 MR. LINDAHL: Yeah, that's a separate issue from
9 what I'm talking about. What I'm concerned about is that
10 this will encourage people to ask for design points less
11 than a five degree approach on 24/7 facilities. The
12 issue of a maximum approach is something that would have
13 to be proven out in modeling and it sounds like, for
14 office buildings, at least in the climate zones you're
15 looking at, it doesn't make sense. I'm not sure that
16 would be true in office buildings with higher wet bulb -
17 average web bulb - but, Frank, or Trevor, do you have any
18 thoughts on that?

19 MR. HEGG: Well, the only think I would add is
20 that, in a sense, the maximum five degree in design
21 condition, it really, if the goal is to have a CTI
22 certified product, then that line can't read maximum, it
23 would say it has to be designed for a five degree
24 approach, because anything less is non-certified.

25 MR. LINDAHL: Right, and that's a good point. It

1 basically says you can't go below a five degree approach
2 unless you shift the design wet bulb down.

3 MR. HEGG: Correct.

4 MR. MORRISON: Yeah, this is Frank Morrison. The
5 other comment I have is the five degree approach is a
6 different degree of difficulty, depending on what the wet
7 bulb is. Mark, at the last 90.1 meeting, I talked with
8 Steve Taylor about this with Addendum - I think it is
9 C.I., we had come up with a formula for that, so you had
10 the same degree of difficulty and you can establish -
11 let's say you want it 95/85/78, with a seven degree
12 approach, you can have, then, an equivalent approach at
13 other wet bulbs. Does that make sense?

14 MR. HYDEMAN: Yeah, no, no, so you prefer this at
15 a different test point, I mean, that's exactly what Paul
16 was saying.

17 MR. MORRISON: Yeah, a fixed approach, I think,
18 is impractical because the five degrees at 66 wet bulb is
19 certainly different than a 74 wet bulb, you're going to
20 get a totally different size tower and maybe not
21 something that you were looking for.

22 MR. LINDAHL: The five degrees really has to do
23 with certification and with actually running a
24 performance test. It's a different subject from, you
25 know, the equivalency of a duty, what Frank is talking

1 about.

2 MR. MORRISON: Right.

3 MR. HYDEMAN: It seems to me, Paul, you know, to
4 answer your question, you said that you could come up
5 with another test condition that had a higher approach at
6 a different wet bulb, so if we decided to move forward
7 with a maximum approach at all, we could do that at a
8 specific test condition, right? Because you could rate
9 your box at CTI rated certified rating, at some other
10 condition, and show that the approach was, in fact, you
11 know, seven degrees or less.

12 MR. LINDAHL: At an equivalent duty condition.

13 MR. HYDEMAN: Yeah.

14 MR. LINDAHL: Yeah, I'm not sure how you'd word
15 that. We need to think about that a little bit because
16 that's where it needs to go, something like that.

17 MR. HYDEMAN: Jeff.

18 MR. STEIN: This is Jeff Stein with Taylor
19 Engineering. Maybe one way to do it is just to say - to
20 list the design condenser water temperature for different
21 climate zones or different wet bulbs, just spell it out
22 for them and say, "In Climate Zone 3, your design
23 condenser water temperature shall be," you know, "...72,"
24 or something.

25 MR. HYDEMAN: But the issue with that is that, if

1 we found that the right approach is five degrees, you're
2 right on the hairy edge of the CTI testing and the issues
3 that Paul was talking about, so it may be better to just
4 have a test condition at which the approach has to be X
5 or less, that's equivalent to five degree in any of these
6 given climates.

7 MR. STEIN: I mean, certainly for enforcement, it
8 would be easier if you just told them what the -

9 MR. LINDAHL: Yeah, that's what I'm worried about
10 is wording it in a way that doesn't lead to immense
11 confusion in the field.

12 MR. STEIN: If you told them what condenser water
13 temperature had to be, then there would be no confusion.

14 MR. LINDAHL: I have to think about that.

15 MR. HYDEMAN: All right, well, let's take this
16 offline, we all know how to communicate with one another
17 and I think, you know, there's a question in my mind if
18 we want to do this at all, have an approach, I mean,
19 we're pushing the envelope as it is just to put in a gpm
20 per hp, that's more aggressive than what's in the base
21 standard. And at this point, I would be willing to back
22 off on the approach if we can't come up with some
23 wording, but I'm happy to work with 8.6, all of you that
24 are on this call, to work on some wording if we can come
25 up with a consensus, that would be great.

1 MR. LINDAHL: We'll help on that, Frank, and the
2 rest of us on the working group. The other question I
3 had was related to the analysis and, as I listen to you
4 talk about using BFDs or BSDs, I guess you're calling
5 them, and using one or two cells on a one or two chiller
6 system, it occurs to me that you're getting probably into
7 some pretty low exit air velocities from the cooling
8 tower. As the speed goes down, the air speed leaving the
9 tower goes down and if you're not including an increased
10 recirculation on the tower in your analysis, then your
11 results are optimistic on energy savings because there's
12 going to be more recirculation. What that means is,
13 instead of the wet bulb being 55 degrees, it probably
14 should be analyzed at 56 or 57 in some cases, you know,
15 it's going to vary a lot with the speed. But you could
16 do a kind of prediction of that based on an assumed wind
17 speed.

18 MR. HYDEMAN: Yeah, that's - well, it's kind of
19 beyond the -

20 MR. LINDAHL: The thing is it could actually be
21 fairly significant in the energy analysis.

22 MR. HYDEMAN: Yeah, the question is -

23 MR. LINDAHL: Because it changes the approach.

24 MR. HYDEMAN: The question is how many hours are
25 you running it at those very low fan speeds where that

1 becomes -

2 MR. LINDAHL: No, that's where your judgment is
3 going to have to kick in because I know that that would
4 make the energy analysis optimistic.

5 MR. HYDEMAN: So, let me put this back to you.
6 Do you guys have a sense of where this becomes a problem
7 in terms of percent rated flow? Because we could easily
8 handle it by putting a floor on the speed of the fan -
9 for modeling purposes.

10 MR. LINDAHL: I would be happy to share some
11 published recirculation data as a function of the exit
12 speed, and the recirculation goes up pretty fast as the
13 exit speed goes down.

14 MR. HYDEMAN: Okay, why don't we start there and,
15 again, we can take this one offline, but -

16 MR. LINDAHL: Okay.

17 MR. HYDEMAN: Yeah, I doubt it's going to make a
18 whole hill of beans because, of course, you get this kind
19 of cubic relationship of speed and energy, so -

20 MR. LINDAHL: That's the thing that disturbs me
21 about it -

22 MR. HYDEMAN: But I'm thinking you would probably
23 end up with the same results, even if we put in a 30
24 percent minimal speed on the model, but I would be happy
25 to do a test run, but let's figure out what that number

1 is.

2 MR. HEGG: Well, I don't know if it's necessarily
3 speed. I think, to Paul's point, is that it's somewhat -
4 it's velocity out of a stack because I think, with the
5 way this is going, to suggest that we're going to go with
6 larger footprints that have lower horsepower's, we're
7 going to be in situations where the exit velocity off of
8 a tower is still going to be low enough, even at - or
9 potentially low enough at 100 percent fan speed that you
10 could run into recirculation issues.

11 MR. LINDAHL: Right, that's what I was talking
12 about, Mark, it's not just slowing it down from the
13 design, you're starting with the slower speed at air
14 speed of design, and then you're slowing it down. So,
15 recirculation needs to be considered in the analysis.
16 It's pretty different from tower - say you have a tower
17 with a 2,500 foot a minute discharge velocity at a 75
18 horsepower and you drop the horsepower to 40, or 30, and
19 you've got a discharge velocity that's now, you know,
20 1,000 or 1,100 feet per minute. And if you start there,
21 that's about the same speed as the design wind speed for
22 a cooling tower, which is 10 miles an hour, so you're
23 getting to where the tower is going to be affected by the
24 wind a lot more.

25 MR. HYDEMAN: Okay, well, I hear you, understand

1 the issue, and obviously we've got to chew on this a
2 little bit more.

3 MR. LINDAHL: Okay.

4 MR. YASNY Good, Mark, it looks like there are
5 about three people online that have questions. The first
6 one is Jamy Bacchus. Are you on the line?

7 MR. HYDEMAN: Jamy talked earlier - or, no -
8 yeah, he did.

9 MR. YASNY: Okay. Then also Mick Schwedler.

10 MR. SCHWEDLER: Hi, this is Mick. Can you hear
11 me now?

12 MR. HYDEMAN: Yeah, we can hear you.

13 MR. YASNY: A little louder, please.

14 MR. SCHWEDLER: Okay, and I apologize, I couldn't
15 get on earlier and I don't have the report in front of
16 me. When we're doing the water cooled to air cooled
17 comparison, what costs were added for the building for
18 the water cooled chiller, as well as the requirements to
19 meet standard 15 for that mechanical room?

20 MR. HYDEMAN: I'll let Jeff answer that. Mick,
21 this goes back to the 2005 standard -

22 MR. SCHWEDLER: Uh huh, but I'd just like to have
23 a handle on the costs.

24 MR. STEIN: Yeah, this is Jeff Stein. We
25 actually used a real project, one that we designed and

1 got some pricing from contractors both ways, so we felt
2 like we captured the full cost of the entire system.
3 Again, as Mark said, this is going back, I don't know,
4 six to eight years now, so I don't have all the details
5 at my fingertips, but we definitely tried to capture, you
6 know, the true costs. I mean, we had water costs in
7 there to - so we -

8 MR. HYDEMAN: I recall there was a cost for the
9 structure, actually a cost for the chiller room, there
10 was a cost for the refrigerant system, and exhaust fan.
11 So, you know, again, this got a tremendous amount of
12 scrutiny because of all the manufacturers really pushing
13 air cooled chillers at the time and everyone that
14 received copies of the report and all of our data, which
15 we handed out freely, nobody could really come back and
16 say, "Oh, you forgot X, Y, or Z." It was pretty
17 thorough, the costing on it, Mick.

18 MR. SCHWEDLER: Okay. I just think it would be
19 helpful when practitioners start looking at this and
20 balking against it, for the Commission to have those
21 costs available so they can say, "On this size building,
22 this sized unit, here was the additional costs that were
23 done through contracting," so people have an idea of what
24 costs were assumed. Thank you.

25 MR. HYDEMAN: Yeah, and Mick, the report, as I

1 said earlier, is still up on the CEC website, so if you
2 go to Title 24 and you end up on the California Energy
3 Commission website, you can go back to the 2005 standard.
4 You know, easier than that, I'll dig up the report and
5 send it to you.

6 MR. SCHWEDLER: Thanks, Mark.

7 MR. HYDEMAN: Sure.

8 MR. YASNY: And then Richard Lord has a question.

9 MR. LORD: Yeah, can you guys hear me again?

10 MR. HYDEMAN: Yes.

11 MR. LORD: Okay, yeah, just to clarify on the
12 volume data, that was the data I gave Mark, and that
13 volume data is for all of the U.S., it's not for
14 California. The distribution of chiller sales in
15 California is a lot different than the rest of the United
16 States. You know, a lot of the chillers are actually
17 sold in Zone 1A, 2A, 3A, and 4A; in fact, 50 percent of
18 them are sold there. They're a lot less in California.
19 So, I wouldn't take that data that I gave Mark and use it
20 to extrapolate it to California. Unfortunately, you're
21 not going to be able to get any better data on ARI
22 because ARI does not keep data by state. I have some
23 internal methods I use to get to it, but I don't know if
24 I could get to air vs. water cooler, I'll have to take a
25 look at it, but be careful using that data because it is

1 the national data.

2 MR. HYDEMAN: Well, Dick, I'll just make sure
3 every time somebody asks for the data that we make it
4 clear this is national data, and may not represent
5 California.

6 MR. LORD: Yeah, that would just be a good thing
7 to caution them with.

8 MR. HYDEMAN: Good. Any other questions? So
9 we've got some work and stuff we'll do offline between
10 myself and the TC 8.6 Working Group, and appreciate
11 everybody's time.

12 MR. SHIRAKH: This may warrant another round of
13 stakeholder meetings after this workshop. We'll try to
14 organize that. Any other questions on any of the topics
15 presented this morning in the room or online? So we're a
16 little bit early, about 10 minutes. We'll adjourn for
17 the morning and we'll be back at 1:00, and we'll be
18 talking about Cooling Tower Water Efficiency. Thank you.

19 (Adjourn at 11:53 a.m.)

20 (Reconvene at 1:07 p.m.)

21 MR. SHIRAKH: Let's start with the afternoon
22 session. So, this afternoon, we'll be talking about
23 Cooling Tower Water Efficiency and Erica Walther will
24 represent that, then at about 11:40 [sic], Automated
25 Demand Response for Nonresidential HVAC, followed by

1 Single Zone VAV Fan Control and Integrated Economizers,
2 and then Reduce Reheat; after that, HVAC Controls and
3 Economizing, and then we'll finish with Air Compressors
4 about 4:00. So, Erika, are you online? Can you hear us?

5 MS. WALTHER: I'm here.

6 MR. SHIRAKH: So, why don't you start? Thank
7 you.

8 MS. WALTHER: Okay. I'm not seeing my
9 presentation, I'm seeing the Automated Demand Response
10 right now.

11 MR. YASNY: What do you need?

12 MS. WALTHER: I'm doing Cooling Tower Water
13 Savings. There you go. Great, perfect. All right,
14 well, thanks for those of you who are on the line and at
15 the meeting, I am Erika Walther at Energy Solutions, and
16 I'm going to be presenting on Cooling Tower Water
17 Savings. Go ahead and advance the slide.

18 So, I'm just going to go over the measure scope
19 which hasn't changed since the last several meetings that
20 we've had, and the proposed Code language, and the
21 analysis and the lifecycle cost results. And there have
22 been slight changes to all of those things, based on the
23 last stakeholder meeting and, right up front - and I'll
24 point this out again when it comes up - but there has
25 been a change to the drift eliminator requirement, and

1 also I did add an assumption about the water rate
2 increase projected over the lifetime of the measure,
3 which was not in there before, so that was beneficial, of
4 course, to the lifecycle cost analysis.

5 So, the measure scope, once again, is due when
6 replacement of evaporative cooling towers in the
7 commercial, industrial, and institutional sectors. And
8 as we talked about last week, this applies to towers that
9 are 150 tons and larger, based on cost-effectiveness.

10 There are five measures in the proposed Code
11 change, the installation of the conductivity or flow-
12 based controller, documentation of maximum achievable
13 cycles of concentration, based on local water quality,
14 installation of a flow meter on the make-up water line,
15 installation of an overflow alarm, and installation of
16 drift eliminators.

17 So, I'm beginning here with the Code language for
18 Part 6 and, again, this hasn't changed since our meeting
19 last week, except in the case of drift eliminators and
20 maybe we'll just - well, people can make comments on that
21 now, or we'll tough on it again when we go over the
22 analysis. So, we might want to just leave the comments
23 for the Code language, limit those to Code language
24 comments for this first part, Section 112 Mandatory
25 Requirements for Space Conditioning Equipment, Section E,

1 Evaporative or Open Cooling Towers. For all Evaporative
2 or Open Cooling Towers, they shall be equipped with the
3 following: For conductivity or flow-based controls,
4 towers shall include installation of controls that
5 maximize cycles of concentration based on local water
6 quality conditions. Controls shall automate system bleed
7 and chemical feed based on conductivity and/or in
8 proportion to metered make-up volume, metered bleed
9 volume, or bleed time, and conductivity controllers shall
10 be maintained in accordance with manufacturer
11 specifications to maximize useful life and accuracy.

12 Regarding Documentation of Maximum Cycles of
13 Concentration. The building owner shall document the
14 maximum cycles of concentration based on local water
15 quality conditions, using the Energy Commission provided
16 calculator. The calculator determines maximum cycles of
17 concentration based on a Langelier Saturation Index of
18 2.5 or less. The building owner shall document maximum
19 cycles of concentration on Compliance Form MECH 5C, which
20 shall be reviewed and signed by the professional engineer
21 of record.

22 Flow Meter. Towers shall include installation of
23 a flow meter on the makeup water line overflow alarm.
24 Towers shall include installation of an overflow alarm to
25 alert operator to sump overflow in case of makeup water

1 valve failure. Overflow alarms shall send an audible
2 signal or provide an alert via the building management
3 system to the tower operator in case of sump overflow.

4 Drift Eliminators. Towers shall be equipped with
5 efficient drift eliminators that achieve drift production
6 of .002 percent of the circulated water volume for
7 counter flow towers and .005 percent of the circulated
8 water volume for cross flow towers.

9 In the Compliance Manual, you would add Section
10 4.2.4 Cooling Tower Controls under Section 4.2 Equipment
11 Requirements. Section 4.2.4 would reference Section 112
12 in Part 6 and describe the methodology or tool, which is
13 the calculator that I just mentioned, required to
14 calculate maximum cycles of concentration in cooling
15 towers, based on local water conditions. And it will
16 reference the appropriate compliance form.

17 Under Section 4.5, HVAC System Control
18 Requirements, Section 4.5.1 Mandatory Measures would
19 require the addition of number 7, Cooling Tower Water
20 Savings Controls. Language would be developed that
21 references Section 112 in Part 6, and describes the
22 methodology or tool required to calculate max cycles
23 based on local water conditions and references the
24 appropriate Compliance Form.

25 Section 4.10, Glossary Reference. Add Subsection

1 4.10.11, including Water Balance in Evaporative Cooling
2 Towers, Cycles of Concentration, and Langelier Saturation
3 Index.

4 For MECH 1C, the Certificate of Compliance, we
5 would add a new Section to HVAC Equipment Efficiencies,
6 Section 112 in the Note Blocks for Mechanical Mandatory
7 Measures. The section will require verification of
8 installation of the following: controls that automate
9 blow down and chemical feed based on conductivity and/or
10 flow rate, and/or bleed time, flow meter on the makeup
11 water line, overflow alarm to alert operator to overflow
12 the sump in case of makeup water valve failure, and drift
13 eliminators. And, again, compliance would be just based
14 on confirmation that the drift eliminators are installed,
15 not that they are achieving a particular efficiency.

16 MECH 5C, Maximum Cycles of Concentration. This
17 would be a new form on which the responsible party would
18 document maximum achievable cycles of concentration,
19 based on local water quality conditions and where they
20 would record the local water quality data, would be
21 inserted as Subsection 4.11.8, or be added to the end of
22 Section 4.11 as subsection 4.11.10.

23 Just to review the measure costs in the Useful
24 Lives of the Measures in this proposed Code, the
25 individual measures that are presented here are not

1 discounted, but on the bottom line there, I have the
2 total cost as a present value. So, the methodology for
3 calculating the savings associated with conductivity and
4 flow based meters began with modeling the tower energy
5 load, and we used EnergyPro to do that, we modeled nine
6 building climate zones, which represent 89 percent of the
7 projected new construction for office space. The
8 building had 117,000 square feet of condition space, it
9 had the load profile of an office with cooling operation
10 from 6:00 a.m. to 6:00 p.m. seven days per week, chiller
11 capacity ranged from 239 to 292 tons, depending on the
12 building climate zone. The cooling tower capacity ranged
13 from 280 to 339 tons, depending on the building climate
14 zone, and the condenser water flow rate ranged from 691
15 to 845 gallons per minute, also depending on the building
16 climate zone. And the outputs that we got from EnergyPro
17 that we were interested in, that we then plugged into a
18 water savings model included the outdoor air dryable
19 temperature of the outdoor air wet bulb, the condenser
20 water load, and the chiller load. Next slide.

21 Then, we modeled the tower water use, and we did
22 this in an Excel-based model that had been provided by a
23 tower manufacturer to Taylor Engineering, who had used it
24 for their own purposes, and modified it, and had been
25 using it, and then offered it to me to use to model this,

1 and it allows manipulation of cycles of concentration and
2 drift, and the output is the annual lead rate, among
3 other things, but I was interested in the annual bleed
4 rate. We developed a model for each of the nine climate
5 zones, set drift at .005 percent. I did one run for each
6 climate zone at 3.5 cycles, which is our baseline
7 scenario, and one run was 4.9 cycles, which is our
8 maximum statewide average cycles of concentration, based
9 on the implementation of the measures - proposed
10 measures. I wasn't quite finished with that one, if you
11 could go back, great. I calculated the bleed savings for
12 each building climate zone and then calculated a weighted
13 average according to the new construction projections,
14 and then I scaled the results to represent a 350 ton
15 tower for the lifecycle cost analysis.

16 In terms of documenting the maximum cycles of
17 concentration, this doesn't require any installation of
18 anything, but I assume two hours of time to gather the
19 local water quality data, enter it into the calculator,
20 and document it in the required form, and this measure is
21 assumed to work in tandem with the controls, so there are
22 no additional savings attributed in the analysis.

23 For the flow meter on the makeup water line,
24 again, this measures assumed work in tandem with the
25 controls and I was not able to find data on uncontrolled

1 water losses, so I did not even attempt to attribute
2 additional savings for this measure.

3 For the overflow alarm, again, I was unable to
4 find data on uncontrolled water losses and, again, there
5 is no additional savings attributed in the analysis for
6 this measure.

7 For the drift eliminators, we're proposing to
8 require installation of drift eliminators that achieve
9 drift production of .002 percent of the circulated water
10 volume for counter flow towers and .005 percent for cross
11 flow towers. And this is in line with what's in the
12 ASHRAE 189.1 mean code right now, it's also assumed to be
13 comparable to standard practice in cooling towers, and
14 that the vast majority of cooling towers, both new
15 installations and existing installations, are using drift
16 eliminators already that are achieving about .005
17 percent. So, we're considering this to be a no
18 incremental cost, no incremental savings measure, but we
19 do want people to use them. And, again, they would not
20 be able to enforce the drift reduction levels, but we
21 would just be enforcing the fact that they are installed.
22 Next slide.

23 So, for the lifecycle cost analysis, I included
24 not only the water savings, but also the chemical savings
25 associated with the reduced bleed, and I assumed a

1 chemical concentration maintained at 100 parts per
2 million, which is about a gallon of scale inhibitor per
3 12,000 gallons of bleed water. This does not include any
4 bio side savings, just scale inhibitor savings, and
5 assuming about 10 pounds of chemical per gallon and a
6 cost of about \$2.00 per pound of chemical. I also
7 calculated embedded energy savings, but they were not
8 included in the lifecycle cost analysis.

9 Just a couple notes on the results before I
10 present those. The analysis, I think, is conservative in
11 that the water savings may be understated because, again,
12 we used an industrial water rate, which was lower than
13 the commercial water rate, because we don't know the
14 distribution of cooling towers being used in commercial
15 settings vs. industrial settings. So, I just assumed a
16 commercial water rate for the entire analysis.

17 The cooling tower energy use was modeled for an
18 office building, and I assume that cooling towers serving
19 the industrial sector are going to have a different load
20 profile of longer operating hours, and so they would
21 likely experience higher savings than are presented in
22 this analysis. And we did not include any water
23 efficiency incentives or evaporation credits from water
24 utilities, although I know they do exist in some areas of
25 the state.

1 So, here are the results pulled out of the case
2 report. And the net savings of the lifetime of the
3 measure is \$7,540.00; again, this is for a 350 ton
4 cooling tower. And I think that's about it.

5 MR. SHIRAKH: So, any questions for Erika in the
6 room? Jon. Jon McHugh has a question for you, Erika.

7 MS. WALTHER: Okay.

8 MR. MCHUGH: Hi, Erika. This is Jon McHugh from
9 McHugh Energy.

10 MS. WALTHER: Hi, Jon.

11 MR. MCHUGH: Hi. So, it looks like this measure
12 is very cost-effective, and I was wondering why not look
13 at, for instance, a smaller tower tonnage, especially
14 since we're looking at the chiller systems over 300 tons
15 are required to be water cooled? Is there a particular
16 reason why you're picking 350?

17 MS. WALTHER: Oh, well, I used the 350 just as a
18 typical sized tower, just to kind of - because the tower
19 sizes were different for every building climate zone,
20 just to kind of normalize the data, I just picked kind of
21 an average cooling tower size and scaled it. But in
22 terms of the cost-effectiveness, the analysis showed that
23 these measures were cost-effective, actually down to 125
24 ton cooling tower at the statewide population weighted
25 average water rate of \$8.12 per thousand gallons. So,

1 150 tons or larger is what the Code would apply to and
2 it's based on the lifecycle cost analysis.

3 MR. MCHUGH: Oh, I see. Thank you very much,
4 that's very helpful.

5 MS. WALTHER: Sure. Okay.

6 MR. SHIRAKH: Thank you, Jon. Any other
7 questions from the audience? What about anybody online?
8 So, Ron, are there any questions or comments online?

9 MR. YASNY: Let's see, Jamy Bacchus is asking -
10 he is with NRDC, "Is embedded energy [inaudible] and does
11 it shift the results -

12 MR. SHIRAKH: You're not coming through.

13 MR. YASNY: Is this better? Okay. "Is embedded
14 energy included and does it shift the results of the cost
15 benefit ratio?

16 MS. WALTHER: I calculated the embedded energy,
17 it is not included in the cost benefit ratio because it
18 won't be seen by the consumer. I'm not sure who is
19 paying the cost of the energy to move the water around
20 the state, but it's not the person who is paying the
21 water bill. So, it wasn't included in the lifecycle cost
22 analysis.

23 MR. YASNY: Okay, are there any other questions
24 online? You're unmuted, anyone can speak up.

25 MR. DIETRICH: This is Bill Dietrich from

1 Baltimore Aircoil.

2 MS. WALTHER: Hi, Bill.

3 MR. DIETRICH: Hi, Erika. We talked about this a
4 little bit last week and I guess I would just restate my
5 thought that we should eliminate any reference to the
6 performance of the drift eliminators in the Code
7 statement and just, if we want to make a provision that
8 they should have drift eliminators, that's fine,
9 especially since that's all we're expecting anybody to
10 verify when they go out and do an inspection. And as we
11 discussed last week, the performance of the drift
12 eliminators does not impact the water use, so it just
13 doesn't seem to me that a number should be put in to the
14 standard because it implies that it has some effect on
15 the water consumption.

16 MR. LINDAHL: Can you hear me? This is Paul
17 Lindahl from SBX.

18 MS. WALTHER: Okay.

19 MR. LINDAHL: I would also like to ask that the
20 values that are used, the .002 and the .005 are values
21 that manufacturers claim and that not all manufacturers
22 agree that those are reasonable values for the particular
23 type of product, so putting them in there is probably
24 somewhat risky for CEC because they're not validated
25 numbers.

1 MR. YASNY: If you're not talking, please mute
2 your phone.

3 MR. LINDAHL: Sorry?

4 MR. YASNY: Everyone that is not talking, could
5 you please mute your phones? Thanks.

6 MR. LINDAHL: So, I would suggest that Bill's
7 comment is very realistic and it should require that
8 eliminators be there and not attempt to put values on the
9 drift rates, unless you're going to measure and validate
10 them, which I don't think you can do.

11 MR. SHIRAKH: This is Mazi. This is interesting
12 because I remember I specifically asked the question if
13 you could - these were the numbers that were given to us
14 by the manufacturers last week, and at the time they
15 seemed to be okay with including them, as long as we
16 didn't include any sort of field verification, just
17 basically the manufacturer's specifications. But now I'm
18 hearing that that may not be the case and we shouldn't
19 have any numbers.

20 MR. DIETRICH: Well, this is Bill Dietrich again.
21 I don't think anybody totally agreed that -

22 MR. LINDAHL: Yeah, I don't think there should be
23 numbers, I think there's some confusion about our
24 discussions the last time because, if you ask the
25 manufacturers what a reasonable value is for an average

1 for all cost flow and an average for all counter flow,
2 you will get different answers from different
3 manufacturers, and there are manufacturers that make
4 those kinds of products, there are manufacturers that
5 will only make one kind of product, and the answers you
6 get are going to vary by which type of manufacturer you
7 are, in all likelihood. So, I think it's something that
8 is sort of playing into marketing positions and it's not
9 appropriate for this venue.

10 MR. SHIRAKH: So, should we say something like,
11 have the drift eliminators, but you need to follow
12 manufacturer specifications for them? Would that work?

13 MR. LINDAHL: Well, again, I think the real point
14 is that the product has the eliminators because there are
15 products that are being sold in the United States that
16 don't have eliminators.

17 MS. WALTHER: This is Erika at Energy Solutions
18 and I'd like to make a couple points; one is, the reason
19 that the number is .005 percent and .002 percent came
20 from - they are a little more conservative than the .005
21 for both types of towers that we discussed last week, and
22 I modified those because that's what was in ASHRAE 189.1,
23 but I think people are bringing up an interesting point,
24 that, I mean, we could be perpetuating numbers that they
25 may or may not have value just because they're in 189.1.

1 We don't know exactly what value they're going to add to
2 this Code. And the second thing is, I know we want to
3 keep the drift eliminators in the Code because they offer
4 public health and environmental benefits and, you know,
5 to that extent, I don't know that the percentage is
6 relevant at the level, or to have it. And so, I'm not
7 sure that we lose anything by dropping the percentage
8 requirement. I defer to CEC, the Energy Commission, on
9 that. But that's kind of what I'm gathering from the
10 conversation.

11 MR. HEGG: This is Trevor Hegg from Evapco
12 calling. The comment I would make, and I agree with
13 that. From a water savings point of view, Bill is right,
14 the drift rate doesn't have to do with water savings
15 because of the - you're going to blow it down, anyway.
16 But the issue would be, you made the comment, Erika, as
17 far as this probably pertains more to environmental
18 aspects and maybe belongs there, rather than in this
19 section.

20 MS. WALTHER: Well, I think we decided last week,
21 the Energy Commission was interested in having this and
22 I'm interested in having it in the Code, just because
23 it's the best practice and it's not so unusual to have a
24 non-energy Code included as part of a - or non-energy
25 measure included as part of the Code. I think the

1 question is more whether it's important to have a
2 specific efficiency tied to it.

3 MR. SHIRAKH: There is a precedence in Title 24
4 for having measures that are strictly for public health
5 and safety and not necessarily energy since we're
6 encouraging the use of cooling towers, we have an
7 obligation to ensure that the public is safe because of
8 the use, and that's why we're putting this in there. As
9 far as whether we should have a specific number in there
10 or not, if the consensus is that it doesn't really
11 matter, that the public safety is covered, whether we
12 have those numbers or not, I'm not really - and I'm okay
13 with that. I just want to make sure that people just
14 simply don't put in drift eliminators that do not
15 function as they're intended.

16 MR. DIETRICH: Well, this is Bill Dietrich from
17 BAC and I think the market will drive a lot of that. If
18 a manufacturer isn't doing the right thing, they're not
19 going to be able to market their products and, I mean,
20 where do you draw the line? This was supposed to be a
21 water savings standard; do we want to prescribe
22 structural things that pertain to the safety and the
23 operability of equipment? You know, I think we have to
24 be careful about what the intent of the Code is, and
25 especially if we're going to ask inspectors to try to

1 verify something, we shouldn't prescribe things that, 1)
2 technically have no impact on the water use if we're
3 following the other rules in the Code, and then putting a
4 burden on somebody to try to verify a number that they
5 can't verify.

6 MR. SHIRAKH: So, from the very beginning, it was
7 never a part of this.

8 MR. DIETRICH: Well, then it shouldn't be in the
9 Standard if there is no reason to verify the number. I
10 don't see any point in putting the number in the
11 Standard.

12 MR. SHIRAKH: Okay, we can reiterate it as we
13 understand it, you know, we'll discuss it, and we'll
14 probably drop the numbers.

15 MR. DIETRICH: Thank you.

16 MS. WALTHERS: Thanks for the input.

17 MR. SHIRAKH: Any other questions on the cooling
18 tower water efficiency measure?

19 MR. YASNY: Mazi, there are a couple of comments
20 that Jamy Bacchus from NRDC mentioned, they may be a
21 little bit - I'm going to mute everyone.

22 MR. SHIRAKH: Yeah, somebody is coughing really
23 loud in our eardrums.

24 MR. YASNY: Okay, Jamy Bacchus mentioned that
25 "TDV is more than the consumer cost, we shouldn't be

1 restricting ourselves to the simple costs to the user."
2 And he's also saying - put in four initials, "IAPM." And
3 the other comment is, "All three of the following used
4 exact same drift rates that have been proposed: ASHRAE
5 Standard 189.1, 209, Section 6.3.2.3.B, and IAPM Green
6 Building - the Green Plumbing and Mechanical Code
7 Supplement, Section 411.0," and IGCC, PV2 Section
8 703.7.5." And let's see, last but not least, "Why should
9 California be different from these three model codes?
10 Why is there any objection to placing it in Title 24 Part
11 11?" Okay, so I'm going to unmute.

12 MR. DIETRICH: It doesn't pertain to water use.

13 MR. YASNY: Go ahead.

14 MR. LINDAHL: Yeah, we just talked through that.

15 I don't think that what's in any of those codes is
16 necessarily relevant. I'm not really sure all the
17 manufacturers have input to what's in all those codes, so
18 I know for a fact that we didn't. So, I think there's
19 more than a little bit of marketing involved in this
20 discussion and it's not appropriate for a CEC Standard.

21 MS. WALTHER: This is Erika at Energy Solutions.

22 I was going to try to respond to the TDV comment and
23 maybe the Energy Commission has some insight into this,
24 too. I think it's a good point. There aren't TDV values
25 developed for water right now. I think there's still a

1 lot of work being done even to quantify embedded energy
2 accurately and I think there may be an effort also to
3 develop TDV numbers for water, or at least get closer to
4 that point, but right now the best that we have is water
5 rates.

6 MR. SHIRAKH: The whole idea of TDV, this is a
7 commodity like electricity or natural gas that has
8 different values, different times of the day, there's
9 significant difference between the value of electricity,
10 using a summer afternoon vs. midnight. I'm not sure if
11 that's entirely true for water, maybe it is, but we
12 haven't really developed those methodologies, so you just
13 have to go with what you have. Any other questions or
14 comments related to water efficiency measures from
15 cooling towers?

16 MR. MORRISON: Yeah, this is Frank Morrison from
17 BAC.

18 MR. SHIRAKH: Go ahead, please.

19 MR. MORRISON: Yes. From this morning's session,
20 the air cooled limitation was set at 300 tons. Is there
21 any consideration to move in the requirement for this
22 from 150 up to 300 tons, so they would be in sync?

23 MS. WALTHER: Well, the Code is based on cost-
24 effectiveness, so that's the basis of my analysis. But
25 I'll leave it maybe to someone else to respond to the

1 broader question of what impact it could have on the
2 market or how it fits in with the other measures that are
3 being proposed.

4 MR. SHIRAKH: We generally go by cost-
5 effectiveness of this measure and it's been determined
6 that these measures are cost-effective for cooling
7 towers, 150 or even less, so that's the rationale for
8 that number. They are actually very cost-effective.

9 MR. MORRISON: Well, the concern is, you know,
10 that under 300 tons, you're competing against air cooled,
11 which would not have that added cost, and while at least
12 the jobs that I've seen have some sort of water treatment
13 system with a conductivity probe, it does put a burden in
14 that segment of the market for water cooled vs. air
15 cooled. And, of course, you're still going to have
16 energy savings with the water cooled system even under
17 that tonnage. So, I think the original study shows that,
18 down to - it wasn't 300 tons, but actually lower, was
19 energy savings for the water cooled system, taking into
20 account all the costs of water and everything. This is
21 something you may want to consider, you know, to
22 reconcile the 150 vs. 300 ton limit, bring them into
23 sync.

24 MR. SHIRAKH: Okay, we'll consider it.

25 MR. MORRISON: Okay, well, thank you.

1 MR. SHIRAKH: Any other comments? Okay, we're
2 going to move to the next topic which is Automated Demand
3 Response to Nonresidential HVAC. Dave Watson, are you
4 online? Oh, you're here.

5 MR. WATSON: I'm in your presence.

6 MR. SHIRAKH: He's here.

7 MR. WATSON: Hi. I don't know if you guys have
8 the latest file loaded up or, if not, I have a memory
9 stick right here. Is this a good spot, good microphone
10 to speak from?

11 MR. YASNY: If you stand here, you can even click
12 your own clicker.

13 Mr. WATSON: Hello everyone, my name is Dave
14 Watson with the Lawrence Berkeley National Lab, Demand
15 Response Research Center, which is a center that's been
16 funded by PIER for about eight years now. We've been
17 doing Demand Response research primarily on
18 nonresidential commercial and industrial facilities,
19 primarily in California, but as many of you may know, our
20 work is having influence nationally, as well as
21 internationally. I'll just go through these very
22 quickly.

23 In the olden days when there was too much load on
24 the grid, due to either generation or transmission
25 constraints, people would get on telephones, they'd call

1 up large facility operators and say, "Turn stuff off."
2 Then, not so very long ago, we started automating things
3 and it made it a lot easier, the dollar signs shown there
4 is along the lines of, when it's financially mutually
5 beneficial, contracts will be written between ratepayers
6 and utilities that make it mutually beneficial to shed
7 loads during certain times, but I do not want to imply
8 that it's a requirement to join these programs, or that
9 it is only financially-based. This measure is
10 essentially proposing that new buildings and major
11 retrofits of nonresidential in California are automated
12 demand response ready, it is not implied that anybody
13 will be forced to do anything that is not mutually
14 beneficial.

15 This diagram shows a little bit more detail. And
16 one thing that I do want to point out here is that, I
17 know Mark Hydeman and others have said, "Why not just
18 keep it simple? Why not just have some relay contacts to
19 trigger this sort of thing?" That's actually the
20 simplest model right here, this acronym "CLIR" stands for
21 Client software with Logic with Integrated Relays. So
22 essentially, a signal comes traditionally over the
23 Internet or Intranet, and when the signal comes in, it
24 closes a dry contact, and that means going into Demand
25 Response Mode, and while many building facility managers

1 do not know how to write Java Code, most of them do know
2 how to interpret a dry contact to perform some shed
3 actions in their sites. Over the years, many
4 manufacturers have started integrating those signals so
5 that it is all software-based.

6 This is, I guess I'll leave it on this
7 architecture diagram just for a moment more, someone
8 might ask, "Why not just leave things like they are in
9 2008 where demand response automation signals shall be
10 provided by the utility and just leave it at that?"
11 We're proposing that some standardization is used to
12 ensure that these investments persist over time. So,
13 since there are nationally recognized standards for
14 automated demand response, we suggest that they are used,
15 this will help prevent vendor lock-in, for example. It
16 might be very compelling one year for a utility to allow
17 some aggregator to take care of all their demand response
18 business, but what happens the next year when that
19 aggregator is purchased by another company and wants to
20 change the rules? That investment may no longer be
21 valuable, whereas if an open standard is used, even if
22 the company has changed, the name has changed, the
23 equipment still will be there on-site for many years to
24 come, that's the idea. And it's easy to get bogged down
25 on details and complexities of these systems, but I do

1 want to keep something in perspective, that the value of
2 being able to manage demand, both on a day to day basis
3 from facility operator perspective and from a grid
4 perspective, is very valuable to society, and the PUC and
5 others are still trying to figure out who will gain the
6 benefits of those values. But let's keep in mind that
7 whatever we do with regard to sequences, operations, and
8 what sheds actually occur, and so forth, if we pick a
9 standard that changes in three years, software patches
10 are comparatively low cost, you know, we probably do them
11 to our PCs on a weekly or a monthly basis whenever
12 *Microsoft* and *Adobe* and everyone else sends out patches,
13 so it's not the end of the world if minor modifications
14 in software need to occur, compared to the great value of
15 the end-to-end demand response system that goes all the
16 way from CAISO to the utilities to large loads like
17 commercial buildings into their Energy Management and
18 Control Systems, down to the actual electric loads,
19 themselves. And when you consider all that went into
20 making that happen, including program management costs
21 and incentives, and so forth, we should not get bogged
22 down on software versions. That being said, the open
23 standards have been adopted, a few different flavors, but
24 they are embraced by industry and by lots of major
25 companies. We have over 50 various companies that have

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 embraced nationally recognized standards, and as I
2 mentioned before, the simplest method is having a
3 hardware retrofit solution where you put a box similar to
4 that one I showed right here, this yellow box, that it
5 takes the Internet on one side and has relays on the
6 other side. One relay means medium-shed, two relays
7 means maximum shed, real simple. Everything from that -
8 those boxes typically cost around \$2,000, but the way -
9 everything from that to no incremental cost if the
10 software is already embedded in a given vendor's product
11 line, like has been done with many major controls and
12 manufacturers.

13 So, now I'll get into the actual Code language.
14 This language has already been - what's shown here is new
15 for 2013, but it's already been vetted by the Lighting
16 Demand Response Group, so nothing on this page is new to
17 the stakeholders, I think, unless perhaps there are some
18 HVAC Demand Response folks that were not involved in the
19 lighting portion. I suppose it could be new to them, but
20 I don't think anything is too controversial here. It was
21 wordsmithed to death for over a year or so, you know,
22 we're comfortable with it. The main points that I just
23 want to make is that some of the things on the other
24 pages refer back to this, which has already been embedded
25 by the stakeholder community. This is the first page

1 that shows anything new that I'm proposing. This is
2 under the Section 101(B), the Definitions section. And
3 this is a style issue, what is shown here in black,
4 without underline, is the exact verbiage in 2008, Title
5 24. So, nothing has changed here. And this is a style
6 issue, to me it was so important to recognize that the
7 Energy Management and Control System response to Demand
8 Response signals, I suggested putting "See Demand
9 Response Signal" here and "Demand Response Signal" is
10 listed up in Definitions, so that's not too earth
11 shattering, again, it's kind of a style issue. What is
12 more substantial, I think, and this was something that
13 was debated and discussed to great degree, is what do we
14 say when we want to recognize the need for national
15 standards and yet several of the national standards are
16 in motion, they are not static. The current thinking,
17 and I talked this over with my colleagues at Lawrence
18 Berkeley Lab is - and actually, I think it is the CEC
19 that actually recommended this - is just to reference
20 something that is locked down, and that's the NIST
21 framework and roadmap for Smart Grid interoperability,
22 and their version, that release, is still valid and it's
23 what millions and billions of dollars of Smart Grid
24 efforts are following this roadmap, so it's a pretty
25 substantial document with hundreds of people working on

1 it across the country. So, we're suggesting this kind of
2 being the guiding principle and putting it in Code.

3 What does that really mean in the real world?
4 Well, here we're talking about air-conditioning today.
5 The first item, again, this is Section 122(h), these
6 words are verbatim from 2008, all the black words are
7 completely verbatim. Item 2 here, I think, is just a
8 typo that, to me, Item 1 and Item 2 are saying the exact
9 same thing, "These Energy Management and Control Systems
10 shall have the capability to turn all the set points up,
11 to reduce the cooling load," but when you do that, you
12 better remember to also turn the heating set points down,
13 so that's all that numbers 1 and 2 are saying, so I just
14 made the language more consistent. Again, that's kind of
15 a style thing without too much substance. The new
16 language here on this section is number 5, which was not
17 stated explicitly in 2008, but I believe that all these
18 things were implied in 2008. Remember, the title in the
19 first line of 122(h) in 2008 says the Energy Management
20 Control System for buildings that have DDC to the zone
21 shall be programmed to allow centralized demand shed for
22 non-critical zones. Well, if it has that capability,
23 then all we're saying here is that it also has the
24 ability to turn that feature off, and that might be
25 obvious, but you don't have to have it operating like

1 that all the time, so we believed that was implied.
2 Being able to adjust all the temperature set points
3 throughout a whole facility with hundreds, or sometimes
4 thousands of zones, is an important thing to do for
5 facility managers, for daily manual demand control. And
6 many people are astonished to find out that that
7 typically is not possible, but we've run the numbers and
8 it would take a full shift of changing set points to
9 adjust all the set points on some of these large
10 facilities, so what I have shown here is 5(ii), just as
11 you can do everything that was described in 2008, you can
12 do that manually from one work station. Or, I suppose
13 you could have a big knob on the wall if you wanted to do
14 it completely manually. And then iii is the automatic
15 demand shed control, and this is saying, "What happens
16 when the system is put in automatic?" There has been a
17 contract signed between the ratepayer and the utility,
18 and it's listening for signals from the utility to shed
19 load. What happens then? This describes it. It says,
20 "Upon receipt of a remote demand response signal,"
21 remember that demand response signal has already been
22 defined, "...the space conditioning systems shall conduct
23 this centralized demand shed for non-critical zones
24 during that period." So, again, I don't think anything
25 really new is here, it's just making it more clear, at

1 least from the way that I read it.

2 Here on the page, this is new text that I think
3 is worth discussing. This is a new Section 135 that has
4 been discussed kind of - I don't know the exact title of
5 Section 135, does anyone here from the CEC know the
6 title?

7 MR. SHIRAKH: Well, the Section 130 is Mandatory
8 Lighting Requirements and I don't specifically remember
9 135, but 131 is for Indoor and one is - Jon?

10 MR. SAXTON: Patrick Saxton from the Energy
11 Commission. I think Section 135 is a tentative new
12 section entitled "Building Power" that would include the
13 text here, as well as some issues about controllable task
14 lighting and controllable receptacles that were discussed
15 in the lighting workshop.

16 MR. SHIRAKH: Right, I think Gary Flamm created
17 this section, specifically for this purpose.

18 MR. WATSON: And part of the idea here is that,
19 this idea of the system level codes are kind of new for
20 Title 24, I think, and the idea is that we don't want
21 something like a demand response signal to be scattered
22 all throughout every different section of Title 24 in
23 lighting and HVAC and, who knows, it could be in signage
24 and elevators, who knows how far it could go? So, we
25 want to hopefully just keep it in one spot and point

1 here.

2 Here, we're referring back to that NIST
3 framework, but we're getting a little more specific and
4 saying a specific table in that NIST framework actually
5 defines national standards that are relevant to this
6 topic. So, again, it's referring to a document that is
7 cast in stone in January 2010 by NIST, but it's not so
8 specific that it would cause this document to become out
9 of date very soon, so how do we deal with that?
10 Compliance manuals is the answer that I think we -

11 MR. SHIRAKH: Can I ask you a question on that
12 NIST?

13 MR. WATSON: National Institute of Standards and
14 Testing.

15 MR. SHIRAKH: No, my question was, is there like
16 a date or something, or a specific version, like when we
17 refer to ASHRAE, you say 2007, or something? So you may
18 want to -

19 MR. WATSON: It's right here in Definitions.

20 MR. SHIRAKH: Okay, so -

21 MR. WATSON: So, between the letter, you see the
22 second line where the letter is, so in this document,
23 we're saying that the NIST framework and roadmap for
24 Smart Grid interoperability, that's kind of shorthand,
25 even though it's kind of long, for - this is the full

1 title of it. And it gives a specific release number and
2 release date, and to describe how stable it is, it still
3 hasn't changed, it's a year and a half later, so -

4 MR. SHIRAKH: Okay, that works.

5 MR. WATSON: So, in Internet time, that's an
6 eternity. So, again, here in Section 135 is where we
7 say, "In that document that we already referred to
8 elsewhere, this is the specific table that you look at to
9 find out which standards are we talking about when we say
10 'national standards.'" Okay, it still doesn't tell you
11 what version is relevant this year, or whatever, so how
12 do we deal with that kind of an issue? And for that, we
13 talk about not including it in the Title 24 Code, you
14 know, the main Code book, but to include more specifics
15 in the Compliance Manuals. And here is where we would
16 get into the nitty gritty of we're talking OpenADR, which
17 is the open Automated Demand Response data model that was
18 developed by Lawrence Berkeley National Lab, and was
19 adopted by NIST, and now is being used all around the
20 world, as well as Zigbee, which is another standard that
21 is being worked on nationally and is also embraced by
22 NIST.

23 And that's really the - so, from a big picture
24 perspective, I'd say, for 2013, we're just clarifying
25 what was done in 2008, we're saying, "Yes, Demand

1 Response signals are good and they should be national
2 standards, and we're using NIST as the pointer to say
3 what does that mean to be a national standard, but with
4 regard to getting into the nitty gritty specifics of
5 which protocol, which version, we're kind of punting on
6 that and putting that in the Title 24 Compliance Manuals.
7 That's what we're suggesting. So, that's the end of my
8 prepared slides, and I have some back-up slides, and I'm
9 available for questions.

10 MR. SHIRAKH: Mark.

11 MR. HYDEMAN: Yes, Dave, I apologize for being
12 hard to contact this last week, but have been dealing
13 with some deadlines myself. So, I approve of what you
14 guys did in terms of going to the NIST document, my
15 problem before is you had some language about open
16 protocols, and it wasn't well-defined, but I think that,
17 if you point to a document that says, "You shall do all
18 these things," like the NIST document does, that's
19 perfectly fine with me, so it takes care of that issue
20 that I had. Section 135, interestingly enough, is - and
21 this is a problem for the standards, in general, we're
22 running out of reserve sections; 135 is specifically
23 Mandatory Lighting Measures, it's a subchapter 4. I
24 think it would be better to be under something like
25 subchapter 2, but we have no spare sections under

1 subchapter 2, that's where all the - it's kind of a
2 catchall for manufactured construction installation of
3 systems equipment and building components, so I don't
4 know what we do, but it doesn't seem - you're talking
5 about Demand Responses beyond lighting, it shouldn't be
6 in a lighting only mandatory section, so we either need
7 to change what those subchapters are -

8 MR. SHIRAKH: Yeah, I talked to Pennington about
9 this -

10 MR. HYDEMAN: Okay.

11 MR. SHIRAKH: -- because we're running out of
12 numbers and numbered areas, prescriptive, and also the
13 subchapters, too. So one option is to actually go to
14 decimals, then we have unlimited numbers.

15 MR. HYDEMAN: Okay.

16 MR. SHIRAKH: Section 119.1, that sort of stuff.

17 MR. HYDEMAN: Okay, well, whatever we end up
18 doing, it sounds like staff is working this right now -

19 MR. SHIRAKH: What I'm saying is, if you identify
20 a better place that it should go, don't let the lack of
21 numbers deter you, we'll find a way of getting it in.

22 MR. HYDEMAN: Okay, so, Dave, I would recommend,
23 since you're talking about both HVAC and lighting, rather
24 than being in subchapter 3 which is HVAC, or subchapter
25 4, which is Lighting, which is where 135 happens to fall,

1 I would put it under Subchapter 2, which is Everything
2 Non-Residential. And that way, it's covered. Or, you
3 have to list it in, you know, the mechanical end lighting
4 and cross reference, you know -

5 MR. WATSON: What about this, looking at this
6 right now, I recognize that, really, the only difference
7 between here on the Definitions, which also applies to
8 everything, and is where I placed it tentatively is 135,
9 the only difference I see is that it lists Table 4-1
10 here. What about just put 4-1 at the end of here and
11 just be done with it?

12 MR. HYDEMAN: A requirement can exist in
13 Definitions. Definitions are there to support
14 requirements, so you need the requirement to live
15 somewhere and I think it should go under Subchapter -

16 MR. SHIRAKH: Mark is correct, you know,
17 Definitions are not requirements, there's generally just
18 one sentence, plain explanation of what - you can't have
19 a standards requirement any better than definitions.

20 MR. WATSON: Okay. Well, those are very positive
21 feedbacks and I appreciate all the comments that I've got
22 from all the people that have worked on this over the
23 last year. I know you've been busy, Mark, but we did
24 read your emails very carefully and tried to interpret
25 your intent and I think we've got pretty close and I'm

1 glad to hear it sounds like we're in general agreement,
2 but we're going to find a better home for this, what's
3 described here in 135, it sounds like the suggestion is
4 move it to Section 2.

5 MR. SHIRAKH: Of Chapter 2 -

6 MR. HYDEMAN: Yeah, to just say Subchapter 2,
7 section to be determined, we can work it out when we find
8 the -

9 MR. WATSON: Okay. Any other comments about this
10 topic?

11 MR. SHIRAKH: Anybody online? Jamy, do you have
12 a comment?

13 MR. YASNY: I think Jamy's comment was addressed.
14 "I believe we would prefer to see the definition describe
15 the term and the Code body provide the requirements and
16 the associated testing standard."

17 MR. SHIRAKH: Okay, any other comments online?
18 All right, thank you, Dave. We appreciate it.

19 MR. WATSON: Okay. Thank you, everyone.

20 MR. SHIRAKH: So, we're going to move to the next
21 topic which is the Single Zone Fan Controls. Jeff Stein
22 is going to present that one.

23 MR. STEIN: Okay, this measure was originally
24 called "Single Zone VAV" and it was sort of an update to
25 the single zone VAV section of the Standard, but we've

1 expanded it a little bit to go over a little bit more
2 appropriately "Fan Control and Integrated Economizers."
3 So, the current Code in Title 24 2008 has a section on
4 single zone VAV which basically says, effective starting
5 next January, DX and chill water units over 10 tons shall
6 be VAV with either a variable frequency drive, or a two
7 speed supply fan, and shall be capable of going down to
8 two-thirds of full speed, low load. ASHRAE 90.1 2010 has
9 a similar requirement for DX units over 10 tons and,
10 then, for chill water units, it was phrased in horsepower
11 of 5 hp, and it was effective basically immediately. So,
12 we sort of started from this point and wanted to see
13 where we could take it from there.

14 Just a little bit of background. It's pretty
15 standard practice for single zone units, both chill water
16 and DX, to be constant volume, so we're expecting that
17 the current requirement that goes into effect soon, and
18 then this proposed requirement, will have a significant
19 change in the market. Another sort of piece of
20 background information is that it's been our experience,
21 and others have corroborated, that economizers on direct
22 expansion units don't really - wouldn't really meet a
23 definition of truly integrated economizers. What often
24 happens is the package units don't fully capture the
25 economizer savings because the minimum compressor run

1 times cause the economizer dampers to cycle, and this
2 phenomenon sort of gets worse, depending on how many
3 stages of compression and what kind of controls the unit
4 has, but here is some data from a couple of our projects.
5 This data on the left is actually from a unit, a pretty
6 large unit, I think it was a 75 ton unit, that had four
7 stages of compression, but still had issues with -- the
8 pink is the economizer dampers that are cycling, and you
9 can see the black is the supplier temperature -- and so
10 what happens is that the economizer can't quite make set
11 point, the compressor comes on, overshoots, you know,
12 drops the supplier temperature quite a bit, the
13 economizer then cycles off, the compressor then cycles
14 off, the temperature goes up, the economizer opens, and
15 you get a lot of cycling. We've seen that quite a bit on
16 package units.

17 So here is the start of our proposed change. The
18 first thing we wanted to do was put in some definitions
19 for multiple zone and single zone systems. These
20 actually aren't defined in the standard and there's a
21 couple places where there's sort of implied to be
22 referenced and the term that's often used is "VAV," which
23 was often really intended to mean multiple zone systems,
24 and were largely one and the same in the past, but that's
25 sort of changing now with variable volume single zone

1 systems. So, for clarity, we're defining a multiple zone
2 and a single zone system. And the reason it's important
3 to define them differently is because the requirements
4 will be different for things like fan power on a multiple
5 zone system where you have the extra static pressure of a
6 zone damper, for example, that you wouldn't necessarily -
7 that you wouldn't have in a single zone system. So,
8 we're adding definitions for a multiple and a single zone
9 system. Then, we're cleaning up some of the language
10 right now in fan power where it was broken into constant
11 volume and variable volume systems, and we're sort of
12 clarifying that the first requirement really applies to
13 single zone systems and constant volume systems if you
14 had a multiple zone system, but as long as it was
15 constant volume, it wouldn't necessarily have zone
16 control dampers, and so the lower watts per CFM is
17 appropriate for a single zone system that doesn't have
18 control dampers, even if it has variable speed driver
19 variable volume controls. And then, the variable volume
20 system, which had a higher fan power, we're clarifying
21 that that's really only for multiple zone variable volume
22 system, so a single zone variable volume system would
23 still apply to the lower horsepower. These are actually
24 pretty, you know, don't apply very often because they're
25 only for very very large systems, over 25 horsepower,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 well, relatively large systems over 25 hp, so most
2 systems wouldn't fall under this area.

3 And then we've taken out some of the performance
4 language and some of the requirements in variable speed
5 drives because we've sort of folded that altogether into
6 the Fan Control section that you'll see in a second. So,
7 we haven't actually eliminated any of these requirements,
8 we've just put them in a more convenient and appropriate
9 place. So, this is basically the fan power requirements
10 that we're really not changing, just sort of clarifying,
11 and then the fan control requirements we also didn't
12 really change, we just relocated them.

13 Going a little bit out of order here, but going
14 in order of the Standard, the way the Standard is
15 organized, the next change is in the Economizer section,
16 and here is where we're putting in our Integrated
17 Economizer language, so it actually already requires an
18 Integrated Economizer, you know, by saying "...shall be
19 capable of providing partial cooling, even when
20 additional mechanical cooling is required to meet the
21 remainder of the cooling load." We've taken that a step
22 further and defined what that means a little more
23 clearly, and what it - and we've put in an effective
24 phase-in date out a few years because some manufacturers
25 have expressed some concern about having to re-tool or,

1 you know, not all their products being able to comply
2 with this, so it could have an effect on other markets
3 and other products, and so we've put in time to give them
4 to prepare for it. Anyway, the definition is that
5 "Mechanical cooling shall be capable of staging or
6 modulating capacity in increments of no more than 20
7 percent of total cooling capacity; controls shall not
8 false load the mechanical cooling system by limiting or
9 disabling the Economizer or any other means such as hot
10 gas bypass, except at the lowest stage of cooling
11 capacity." So you have to be able to turn down your
12 compressor, or your cooling capacity down to 20 percent,
13 or lower, without having to cycle the economizer dampers
14 or use false hot gas, or anything else like that. You
15 know, certainly there will be a lot of ways to meet this
16 requirement, one way would be to have multiple
17 compressors or stages of compression with the smallest
18 stage being 20 percent or lower. The direction auto
19 manufacturers are going now is with variable capacity
20 compressors, like the Copeland digital scroll compressor,
21 or with variable speed compressors.

22 So, coming back now to the fan control, as I
23 said, we started with the current single zone VAV
24 requirement that's in the Code and basically sort of re-
25 wrote it and made it a little bit more general, and also

1 extended it a little bit, so you know, as I said, it
2 basically applied only to 10-ton units, and actually only
3 talked about single zone systems, sort of implying
4 variable multiple zone systems were already VAV, which is
5 probably generally the case. Anyway, we sort of combined
6 it just to make it clear that this now applies to all
7 multiple zone and single zone systems listed in this
8 table, and I'll show you on the next slide, "...shall be
9 designed to vary the air flow as a function of actual
10 load. Single zone systems shall have controls or devices
11 such as two speed or variable speed controls that will
12 result in fan motor demand of no more than 50 percent of
13 design wattage at 66 percent of design speed." That's
14 sort of in line with what's there now, it says, "Shall go
15 down to two-thirds of the fan speed," didn't define a fan
16 wattage, but we put in a fan wattage that's pretty
17 conservative, you know, you should be able to do much
18 better than that, and you should also pretty much -- all
19 variable volume single zone systems can go below 66
20 percent fan speed. And then, multiple zone systems shall
21 include controls that limit the fan demand to no more
22 than 30 percent of total design wattage at 50 percent of
23 design air flow when static pressure set point equals
24 one-third of the total design static. This is exactly
25 what was already in there and so we just relocated it so

1 that all of the fan control language is pretty much all
2 in the same place.

3 So, really, this actually doesn't show you what
4 we've really changed, it's really just sort of
5 reorganizing what was already there. What has changed is
6 in this table here, so, first of all, this paragraph is
7 the same one on the previous page; it just recopied it
8 here. So, what's changed is this table, you know,
9 whereas before we had 10-ton units for chill water and
10 DX, now we're saying that, for DX systems over 10 tons,
11 those are already effectively required to be VAV or two
12 speed. For DX systems between six and 10 tons, effective
13 January 1, 2015, they'll have to be two speed or variable
14 speed. So, that's really the change there on the DX is
15 the six to 10 tons, so we've basically lowered it from 10
16 down to six.

17 And then, in chilled water, we've lowered it,
18 instead of in tons, we've gone to horsepower like ASHRAE
19 has, and we've done an analysis that shows down to
20 quarter hp and probably even below, but the requirement
21 was set at quarter hp, you'd have to be VAV, and we
22 didn't feel that there was any need for a delayed phase-
23 in, you know, obviously the standard won't go into effect
24 until after this, but we can put in whatever date we
25 wanted. But the point is, we don't think it needs to be

1 delayed. The technology is easily available now for
2 chill water and evap cooling systems. So, that's the
3 gist of it. This got cut off a little here. The
4 footnote here is just referring to the table in the
5 mandatory efficiency section where they define sort of
6 capacity of units, so there's no confusion about what
7 constitutes a six-ton or a 10-ton unit. And then we've
8 added an exception here for systems that supply 100
9 percent outdoor and are required to be constant volume in
10 order to maintain minimum ventilation or make up air
11 rates, so obviously there's no point putting in two speed
12 or variable speed controls on a unit that can't really
13 turn down. So, we've added that exception, which is
14 probably pretty obvious, but just to avoid any confusion
15 down the line.

16 To justify this change - uh huh?

17 MR. SHIRAKH: So, on that previous table, is the
18 effective date January 1, 2012 - why do we need to put
19 that in?

20 MR. STEIN: We don't, I mean, we could change it
21 to whatever you want, and the point is we wanted it to be
22 effective as soon as this version of the standard -

23 MR. SHIRAKH: The effective date of the standard
24 is January 1, 2013.

25 MR. STEIN: Okay.

1 MR. SHIRAKH: It seems like the only date you
2 need for that is for direct expansion of less than -

3 MR. STEIN: What did it say here, just now?

4 MR. SHIRAKH: Yeah, just it will go into effect
5 with the next standards.

6 MR. STEIN: Okay.

7 MR. SHIRAKH: So, January 1, 2014.

8 MR. STEIN: Okay. Yeah, I mean, we sort of
9 played with the clearest way to try to convey this and
10 maybe this table isn't even the best way to do it. But -

11 MR. SHIRAKH: I mean, basically you don't want to
12 put a date that's prior to the effective date.

13 MR. STEIN: Okay. So I'll change that to January
14 - 1/1/14. Okay.

15 So, to justify this proposal, we went through a
16 series of analyses for both DX and chill water systems,
17 to justify both the fan control, you know, the VAV and
18 two speed portion of the requirement, and also to justify
19 the integrated economizer portion of the requirement, so
20 this is the analysis that was just for the fan control,
21 and just for DX equipment. And we got some cost data
22 from HARI which did a survey of its members earlier this
23 year, and the piece of data that is relevant here is that
24 it was about \$500.00 total incremental first cost for a
25 six-ton unit to go from a single speed, single stage

1 compressor, to a two speed, two stage compressor. The
2 only cost that didn't include was maintenance, and so we
3 worked with some local service contractors. We did an
4 analysis that basically modeled a constant speed unit,
5 compared to a unit that cycled between low and high
6 speeds, so a two speed unit, you know, and when the load
7 allowed it to meet the load at low speed, it went to low
8 speed, and when it needed to go to high speed to meet the
9 load, then it did. Needless to say, the majority of the
10 hours are spent at low speed.

11 And we feel the analysis was conservative for a
12 few reasons, one is we modeled two speed fan with 30
13 percent power at low speed, but most existing single zone
14 VAV systems have variable speed fans, so they're not just
15 two position, but they're actually modulating and are
16 able to only go to full speed when they really need to,
17 you know, near design conditions, and also the power at
18 low speed is generally below 30 percent, so it's pretty
19 conservative in that regard. The analysis doesn't
20 account for reduction in energy losses associated with
21 compressor cycling, you know, which would go down if you
22 had a two-stage compressor, rather than a single stage
23 compressor, you know, we assumed that the compressor
24 efficiency was going to be the same in both cases, which
25 is pretty conservative, and then we really didn't account

1 for over-sizing, I mean, I think we sized the unit at 110
2 percent of the peak capacity, which is pretty tightly
3 sized. You often see equipment that is much more
4 significantly oversized and, in those cases, the savings
5 would be even greater.

6 Nevertheless, it was highly cost-effective in all
7 the climate zones we looked at, with what corresponds to
8 less than a two-year simple payback, so it was a pretty
9 compelling argument for this lowering the threshold from
10 10 down to six tons for DX equipment.

11 So, lowering the chill water threshold from 10
12 tons down to a quarter hp, we did a couple analyses, one
13 was for a fan coil that wouldn't necessarily have any
14 outside air, you know, that might serve something like an
15 electrical room, or a computer closet. The cost data we
16 got from equipment vendors of fan coil units comparing
17 ECM motors vs. standard motors, ECM motors are now a
18 standard option from a number of manufacturers. Again,
19 it was pretty highly cost-effective, as well, at a
20 quarter hp. The one thing this analysis didn't include
21 was any controls to deal with minimum outside air. We
22 assumed that, if you're dealing with a quarter hp, you
23 know, tiny little fan coil, that it's probably not
24 serving something that needed outside air.

25 So we then did an analysis of a chill water unit

1 that had outside air and then we had to include the
2 incremental cost to add a modulating actuator to the
3 minimum outside air damper. You can no longer have sort
4 of a fixed position minimum outside air damper, on a
5 constant volume unit, you now need to be able to modulate
6 or at least have a two position actuator on that damper,
7 so we included the cost of that from a damper actuator
8 supplier, again, the ECM motors from some local vendors.
9 Again, we felt that analysis was conservative, doesn't
10 take credit for reduced fan heat cooling energy. All we
11 took credit for was the fan energy savings. It doesn't
12 take credit for the increased motor efficiency of an ECM
13 motor vs. a standard PSC motor; ECM motors are typically
14 higher efficiency than a standard motor, so it's a pretty
15 conservative analysis and it showed it was cost-effective
16 for an air handler, you know, serving a zone as small as
17 500-square-feet, which is probably, you know, the
18 smallest zone you would typically have for an air
19 handling unit that had outside air on it.

20 So, that's the analysis for the fan controls.
21 Now, on to the analyses we did for the integrated
22 economizers. So, we did integrated economizer analysis
23 only for DX equipment, for chill water it's trivial and
24 there's really no cost associated with an integrated
25 economizer. On DX, we looked at two kinds of systems,

1 multiple zone DX systems and single zone DX systems, so
2 here is the analysis we did for a multiple zone DX
3 system. And we did a simulation of a typical office
4 building. In the base case, we assumed the economizer
5 worked 75 percent of the time, that you had a 75 percent
6 economizer, and that was based on the field research we
7 had done, showing average economizer damper positions
8 were 75 percent or less for units basically where the
9 economizer was cycling, if you integrated the average
10 damper position over time, 75 percent was actually pretty
11 good, some of them were even worse than that.

12 And then, in our proposed case, we're assuming
13 that you can do full economizing because you would have a
14 variable capacity compressor and we got cost data, again,
15 from HARI. The data that they gave us was a \$700 total
16 incremental cost for a six-ton unit to go from two-stage
17 compressor to a variable capacity compressor. And again,
18 we feel the analysis is conservative, it only takes
19 credit for economizer savings, it does not take credit
20 for compressor efficiency savings, such as reduced
21 cycling, more effective use of the heat exchanger, you
22 know, a larger heat exchangers, lower load. And, again,
23 it was highly cost-effective, even at six tons; in
24 multiple zone systems, it's unlikely that you would even
25 have a system that small, most multiple zone systems are

1 20, 30, 50, 70, you know, 90-ton kind of systems, and the
2 economics are only better, so even down to six tons, it
3 pays for itself. We did get the cost data from HARI for
4 larger systems and, again, the payback was even shorter
5 than for a six-ton unit.

6 The next one we did, analysis we did, was fan
7 control and integrated economizer for single zone DX, so
8 we basically didn't really have a way to look at just an
9 integrated economizer, so we looked at both the first
10 cost and energy savings of both the fan control and the
11 integrated economizer for a single zone DX system. Our
12 simulation in the base case was a constant speed fan and
13 a partially integrated economizer, and then the proposed
14 case was a variable speed fan with a fully integrated
15 economizer. The partially integrated economizer, you
16 know, in DOE2 doesn't technically have a way to model
17 that, but we came up with what we felt was a pretty
18 reasonable proxy for that, and it's described in more
19 detail in our report. The cost data, again, was from
20 HARI and the incremental cost for a variable capacity
21 compressor and a variable speed fan over a single stage
22 compressor and single speed fan was about \$2,000 for a
23 six-ton unit, so a pretty sizable increase in the cost.
24 The incremental maintenance, in talking with some service
25 contractors, you know, we used a number of one-hour year,

1 some folks argue there was actually negative due to
2 reduced wear and tear on compressor dampers due to
3 reduced cycling, so there may actually be a maintenance
4 cost savings. But, to be safe, we used an incremental
5 maintenance amount of an hour a year. The analysis,
6 again, we felt was conservative, it only takes credit for
7 fan and economizer savings, it does not take credit for
8 compressor efficiency savings. And, again, it was highly
9 cost-effective with a simple paybacks corresponding to
10 two years or less in all climate zones that we looked at,
11 so, you know, pretty compelling again.

12 In terms of measure availability, you know, we
13 spent time talking to different manufacturer about what
14 they had available now and what they could have available
15 down the road, and it's pretty clear that there's quite a
16 few manufacturers that have these kind of systems already
17 available off the shelf, and you know, others that could
18 have them in the near term. One of the things you often
19 see, or that at least a few manufacturers now are
20 offering on larger equipment is not fully variable speed
21 or variable capacity compressors, but having maybe two or
22 three fixed capacity compressors with one variable
23 capacity compressor, which allows it to be continuously
24 variable over the entire range, you know, it starts - the
25 variable capacity starts from zero to 20 percent load,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 then you stage on a fixed capacity compressor, but the
2 variable one makes up the difference from there, so you
3 could have a fully variable capacity on the compression
4 without having all variable capacity compressors.
5 Anyway, it's readily available technology now. That
6 isn't to say that this is dominant, as I said, this is
7 the exception now in the market, but something that could
8 easily be brought in.

9 And, you know, we wanted also to point out that
10 some of the non-energy benefits improved air quality, a
11 truly integrated economizer is going to be able to keep
12 the economizer enabled and provide more fresh air.
13 Systems without truly integrated economizers often end up
14 failing and either fail in the closed position or put in
15 the closed position because they can't meet the load if
16 they fail - if the facility operator puts it in the
17 closed position, and then you have no outside air, and
18 I've seen this myself on a number of projects with older
19 package units that I've visited.

20 Improved comfort, better capacity turndown
21 results in more stable supply temperature and space
22 temperature, you know, if you recall, that plot I showed
23 before, it showed the supplier temperature varying by 20
24 degrees and that's pretty common with DX equipment to
25 have highly variable supplier temperatures. Improved

1 acoustics -- reduced fan speed reduces noise and improved
2 capacity turndown reduces the noise of the compressor
3 cycling. Increased equipment life - you know, better
4 control of humidity and electrical system stability, so
5 there's a number of benefits beyond just the energy
6 savings.

7 So, in addition to the prescriptive requirement,
8 we're proposing some changes to the ACM Manual, the
9 simulation rules for package single zone systems. Under
10 supply fan power, we're defining the fan power ratio at
11 part load, basically using cube law, or the fan affinity
12 laws, to define the power ratio of part load. And then,
13 for system 1 and 2, we say when the base case would be a
14 constant volume and when it would be a variable volume
15 system, and then there's some language in here,
16 "partially integrated dry bulb economizers for systems
17 less than six tons," actually, this is one maybe Jon
18 knows more about than I do, I don't know if Jon is still
19 in the room, but this was one of the comments that we got
20 back on our proposal and added in, that the base case is
21 going to model a partially integrated economizer for less
22 than six tons; over six tons, we're going to model a
23 fully integrated economizer, I think, is the implication.
24 And then, we've put in a sequence for the base case for
25 the supply temperature and supply fan control and the

1 sequence says that the supplier temperature set point
2 shall be reset linearly from minimum at 50 percent
3 cooling load and above, to maximum at zero percent
4 cooling load, and the fan volume shall be linearly reset
5 from 100 percent air flow at 100 percent cooling load to
6 minimum air flow at 50 percent cooling load and below,
7 minimum fan volume set point shall be 50 percent. So
8 basically it's sort of what we call an airflow first
9 sequence, so as the load goes down from the design load,
10 the first thing you do is reduce the airflow down to 50
11 percent airflow, and then the second stage would be to
12 increase the supplier temperature from the design
13 supplier temperature, you know, from the minimum up to
14 the maximum, and maximum supplier temperature would
15 basically be room temperature. And so it's providing no
16 cooling at all at that point. So, that's how to control
17 the fan speed for a single zone system.

18 Similar changes to water baseline system, System
19 5, so if you're mapped to System 5, again, we're not
20 changing the design power, but we are saying the fan
21 power ratio shall use the fan affinity laws less than a
22 quarter hp, it'll be a constant volume system above a
23 quarter hp, it'll be a variable speed system, and same
24 control sequence, same air flow for a sequence, so first
25 we lower the air flow and then raise the supplier

1 temperature.

2 Okay, that's all I wanted to talk about. We have
3 proposed some small changes to the acceptance test and
4 those are in our report, you know, nothing significant,
5 basically just sort of keeping with the proposed
6 prescriptive requirement. So, that's it.

7 MR. SHIRAKH: Okay, thank you. Any questions for
8 Jeff in the room? Jon?

9 MR. MCHUGH: This is Jon McHugh, McHugh Energy.
10 First, I'd like to start off that, you know, this has a
11 huge impact on the overall air-conditioning consumption
12 in the state. We're now getting down to the smaller air-
13 conditioners, the variable flow requirements into the
14 smaller air-conditioners, which end up being a
15 substantial fraction of the tonnage of the installed
16 capacity, so you know, I hardly endorse this. Related to
17 the economizer language that you had in there, you had a
18 requirement, I think it was to be able to reduce the
19 cooling capacity to 20 percent of its full load capacity
20 under economizing conditions, and so I guess my first
21 comment there is that there's another case study which I
22 believe is looking at requiring economizing down to, I
23 think it's 5,400 Btu per hour, so I think what you want
24 to do is start this off with something for systems larger
25 than 65,000 Btu's per hour, so it's clear - and I'm

1 assuming that's what you intended here because I think
2 what you're doing is, when you're looking at 2, you're
3 thinking, "Oh, under the old system, we didn't require
4 economizers until 75,000 Btu's per hour." Then, the
5 other thing is that, even for those systems that are over
6 65,000 Btu's per hour, I thought you were only requiring
7 two speed fans. So, are those systems going to be able
8 to modulate down to 20 percent? Or how does this
9 coordinate with the other measures?

10 MR. STEIN: Yeah, well, the fan speed and the
11 cooling capacity are separate issues, right? What this
12 is saying is that, if the cooling load is less than 20
13 percent, right, the cooling load can be anywhere from
14 zero to 100 percent, right? And so this is saying if the
15 cooling load is less than 20 percent of the design
16 cooling load, you know, you'd have to be able not to
17 false load the compressor. Whether the fan is running at
18 100 percent speed or 50 percent speed, you know, doesn't
19 necessarily matter. The issue here is trying to prevent
20 the compressor from overshooting, right, and resulting in
21 either excessively low supplier temperature, which
22 reduces the efficiency and increases latent cooling, or
23 cycling the economizer. So, there's no conflict that I
24 see between the two.

25 MR. MCHUGH: But, this is potentially a higher or

1 greater modulation of cooling capacity than your first
2 proposal, which, I mean, you have a two speed fan and
3 you're slowing it down to 66 - whatever it was - I think
4 65 percent of full speed?

5 MR. STEIN: Yeah, to have a two speed fan, you
6 typically have to have at least two stages of capacity
7 control.

8 MR. MCHUGH: Right.

9 MR. STEIN: So that's all that would effectively
10 be required by the two speed fan requirement. This
11 requirement is requiring you to go further.

12 MR. MCHUGH: Further, okay.

13 MR. STEIN: With capacity control.

14 MR. MCHUGH: And is this compatible with the
15 ASHRAE - I mean, my understanding is your variable speed
16 - or your variable air volume single zone system, that's
17 designed to be compatible with a similar type proposal
18 going through ASHRAE 90.1. Will this requirement be also
19 compatible with that same -

20 MR. STEIN: Yeah, I mean, we're a little out of
21 phase. I mean, the ASHRAE 1 isn't - we haven't finished
22 doing the analysis yet, but we're going to be proposing
23 the exact same thing, yes. There will be the same
24 proposals.

25 MR. MCHUGH: Okay. Anyway, thank you very much.

1 MR. SHIRAKH: Thank you, Jon. Any questions for
2 Jeff online?

3 MR. YASNY: Let's see, there was a comment from
4 Jamy Bacchus, NRDC. "As previously noted in other
5 workshops, 'conservative' implies different things. A
6 conservative response to climate change would imply an
7 aggressive action, whereas, if we apply this to savings,
8 and perhaps we're leaving things on the table, why not
9 include savings due to compressor energy savings in the
10 analysis?"

11 MR. MCHUGH: A couple reasons, one is it's hard
12 to do, DOE2 doesn't have a good tool or technique for
13 doing that, you know, we'd have to sort of come up with a
14 methodology, and the other is, in my mind, being
15 conservative in analysis like this has value because it
16 leaves you less open to criticism. If we could show that
17 it's cost-effective using conservative assumptions, you
18 know, without taking credit for the compressor savings,
19 then it just makes our case stronger. It doesn't mean
20 that we aren't going to achieve the compressor savings,
21 we'll still get them in reality, it just means to work
22 our way through the Code acceptance process, I think it
23 makes our life easier and the Commission's life easier.

24 MR. YASNY: Okay, and then Mick Schwedler has a
25 comment or a question.

1 MR. SCHWEDLER: Yeah, this is Mick. A couple
2 things on the question that was just asked. Digital
3 scroll compressors are primarily capacity modulating
4 devices, not necessarily energy conserving devices. So,
5 be careful about saying that it's conservative because
6 there might be more compressor savings.

7 MR. STEIN: Right. Yeah, Dick had the same
8 comment and then he and I both looked at the performance
9 data for the digital scroll and it basically shows that
10 the efficiency is constant and that the load goes down,
11 which is not going to be the case for fixed capacity
12 compressors. So, you know, you could argue, then, that
13 it is more efficient, but as we said, we didn't take
14 credit, we assumed that the compressor energy was going
15 to be the same whether it had one stage or multiple
16 stages.

17 MR. SCHWEDLER: And that was just in response to
18 the question. A couple comments, first of all, on the
19 additional costs, it seemed that the hardware was costed
20 out, but not necessarily the additional controls in order
21 to modulate capacity, modulate the additional mechanical
22 equipment in the space. I'm not sure how much that would
23 be, so I'm not expecting you to answer that right now.

24 MR. STEIN: Okay, I mean, the cost data we did
25 get from HARI, as I understood it, was for a fully

1 functioning system, you know, including all costs to the
2 owner. And some of these were from manufacturers for
3 manufactured products that would include controls.

4 MR. SCHWEDLER: Some of the wording in the
5 presentation wasn't exactly clear there. And finally,
6 just a comment about the 20 percent total cooling
7 capacity, if we think about a compressor with a variable
8 speed drive, a lot of times the minimum speed of that
9 drive is around 18 parts or so, which is 30 percent.
10 Now, if this compressor is operating when the unit is in
11 the economizer mode, or partial economizer mode, the
12 outdoor air temperature is lower; if it is an air cooled
13 unit, the compression capability of that 18 Hz just got
14 larger because of the reduced condensing temperature, so
15 I guess a question I would have is, could that 20 percent
16 minimum keep people from installing a single variable
17 speed compressor, which could save a lot of energy, but
18 not meet the 20 percent.

19 MR. STEIN: Yeah, I mean, typically where you're
20 going to see this is on larger units where you're likely
21 to have multiple compressors, even if they have variable
22 speed. I mean, the variable speed compressors I've seen
23 actually don't go above, I think, three or four tons.
24 So, you're probably going to have multiple compressors
25 anyway, in which case one of them could be variable speed

1 and the other could be fixed speed. There is also, you
2 know, the digital scroll has a 10 percent capacity
3 minimum, so you could have a single digital scroll
4 compressor and, you know, easily get below the 20
5 percent. So, it can be done, but you're right, there's
6 some variable speed compressors; if you had only one of
7 them, then, strictly speaking, you wouldn't comply.

8 MR. SCHWEDLER: Even though it could be very
9 energy efficient.

10 MR. STEIN: Sure. I mean, you know, this is a
11 prescriptive requirement, too, so if it's very energy
12 efficient, you could use the performance approach and
13 show that it does better.

14 MR. SCHWEDLER: On a six-ton system, that might
15 be tough to do and justify, but thanks.

16 MR. SHIRAKH: Jeff, just one comment on whether
17 we should capture the compressor savings or not. I
18 understand what you're saying; on the other hand, both
19 the Energy Commission and the IOUs, you know, we use the
20 amount of energy savings to justify what we're doing for
21 the standards.

22 MR. STEIN: Well, we could certainly make an
23 attempt at that.

24 MR. SHIRAKH: If it is possible to capture it, I
25 think it benefits us and the IOUs. Any other questions,

1 please identify yourself.

2 MR. YASNY: It looks like there is a comment from
3 Jon Douglas, let me unmute him. Oh, I'm sorry, Jon will
4 go next.

5 MR. ROSA: Josh Rosa with California Association
6 of Sheet Metal and Air-Conditioning Contractors. Just
7 two questions, the first being with regard to that 20
8 percent total cooling capacity. Did you consider how
9 that factors with non-attainment zones designated by the
10 EPA?

11 MR. STEIN: I can't say that I have. Can you
12 explain what you mean by that?

13 MR. ROSA: Just those areas that are designated
14 as unhealthy air, I mean, is there any consideration as
15 to - are the same requirements prescribed for economizers
16 in attainment or non-attainment zones?

17 MR. STEIN: As far as I know, the economizer
18 requirements don't distinguish between attainment and
19 non-attainment zones, but, again, this isn't telling you
20 when to do an economizer, this is basically just saying
21 your capacity controls have to be robust enough that you
22 are actually achieving your economizing when we tell you
23 that you have to do an economizer.

24 MR. ROSA: Okay.

25 MR. STEIN: I guess I'm not following where we

1 could be tripped up on that one.

2 MR. ROSA: Okay. And just with cost, it mentions
3 that the data was gathered from a Bay Area contractor, is
4 that just a single one? Or, I mean, is there -

5 MR. STEIN: Well, there were a bunch of different
6 proposals here. Typically we worked with two or three.
7 I mean, we usually don't rely on data from one
8 contractor.

9 MR. ROSA: Okay.

10 MR. STEIN: So two or three.

11 MR. ROSA: Okay, thanks.

12 MR. STEIN: Sure.

13 MR. SHIRAKH: Thank you. There is a question
14 online?

15 MR. YASNY: Jon Douglas.

16 MR. DOUGLASS [ph.]: Am I muted?

17 MR. YASNY: No.

18 MR. STEIN: We can hear you.

19 MR. YASNY: We can hear you.

20 MR. DOUGLASS [ph.]: Oh, you can hear me, okay.
21 About the 20 percent capacity turndown, I had a couple
22 comments. The first one is on the digital scroll, again,
23 I echo Mick's comments that it is a capacity reduction
24 device, it doesn't really impact your efficiency. The
25 other thing is, it is not exactly a quiet solution, so

1 you might not want to talk about it being a noise
2 reduction solution. And then, also, on variable speed
3 compressors similar to what Mick said, is on a single
4 compressor it's difficult to get a turndown much less
5 than one-third, 33 percent, and it just has to do with
6 some issues with low circulation, the air flow and things
7 like that, so I'm concerned that for capacities where you
8 would want to try to get away with one compressor, that
9 that 20 percent turndown is just a little bit too much.

10 MR. STEIN: Have you seen variable speed
11 compressors on 7.5, 10-ton units? I mean, I've only seen
12 them on smaller units.

13 MR. DOUGLASS [ph.]: Yeah, they tend to be in the
14 residential range up to five tons, but it's not out of
15 the range of possibility to put them on and the
16 technology is there, so what you're kind of doing is
17 forcing the hand of somebody that is designing the
18 system. If I want to design a 7.5 ton system, to meet
19 the 20 percent, I have to go to a compressor solution,
20 which means you can add cost. If it's something more
21 like 35 percent or something like that, or maybe even 50
22 percent, then I have a really good shot at doing it with
23 one variable speed compressor. And so I think - and
24 maybe there needs to be a sliding scale that says, you
25 know, when it gets to a 20-ton unit, it's a lot easier to

1 pull off than when you're doing a 10-ton unit. So I just
2 think the 20 percent - and there's a lot of other
3 idiosyncrasies when you get to that low a capacity about,
4 you know, again, we'd like to be able to run that system
5 at 20 percent and reduce the fan speed, so forget about
6 the economizers, we'd like to run it to the variable
7 speed system, and you just can't run 20 percent air flow
8 and have proper duct distribution, so there are other - I
9 know that's not part of the analysis, but there's other
10 things that - other issues that kind of make 20 percent
11 tough.

12 MR. STEIN: I didn't follow that. What did you
13 mean, "proper duct distribution?"

14 MR. DOUGLASS [ph.]: If you just forget about an
15 economizer, if you try to design a variable capacity
16 system, and you vary the air flow rate proportion of the
17 compressor capacity, then you actually can run the air
18 flow at 20 percent of normal, you have issues about
19 whether the air is really distributed uniformly
20 throughout the duct system. All the kind of subtle duct
21 design issues that are not a big deal at full capacity
22 become a big problem and you end up with one room that
23 doesn't get its fair share of the air flow, which
24 normally does when it's running at full capacity.

25 MR. STEIN: Okay, thanks.

1 MR. DOUGLASS (ph.): So, I'd like to see it more
2 like 35 percent.

3 MR. STEIN: Yeah, I mean, what we're after is,
4 you know, I'd like to see it at zero percent, what we're
5 after is fully integrated economizing and you can go well
6 below 20 percent, as we said, with something like a
7 digital scroll compressor and, frankly, you know, we
8 could try to require that, but right now I'm only aware
9 of one manufacturer of that product, so we had to make it
10 more generic, and so you've got several options here.
11 You know, you can use a digital scroll, which several of
12 the manufacturers are doing, you can use multiple stages
13 of compression, multiple compressors, you can use
14 variable speed compressors if you, you know, as you said,
15 you're going to have to have multiple compressors with
16 one of them variable speed if you're over five tons, but
17 this requirement only applies with over six tons, anyway.
18 So, you know, I think there are plenty of ways to get
19 what we're trying to do here and, you know, we've shown
20 that you can do it, at least cost-effectively, so -

21 MR. DOUGLASS [ph.]: I just - I feel like - and I
22 don't know how to say this - I feel like this is a pretty
23 big change to - especially in the five to 10-ton systems
24 - a pretty big change to the system to try to make an
25 economizer work a little better. When you're talking

1 about taking a system that is normally basically an
2 on/off one stage, two stage system, and converting it,
3 requiring it to be a variable speed system. And you
4 know, that's a pretty big change in the design of
5 systems. I understand that there are some systems out in
6 the marketplace that do that, but there aren't that many,
7 and there are a lot of issues, there's reliability, I
8 mean, if you look at even the residential marketplace,
9 there are very few variable speed systems out there. And
10 there's a reason why, it's hard, and it's going to - and
11 I'm concerned that making it -

12 MR. STEIN: I mean, these units cost twice as
13 much as a standard cost in volume unit, so we're saying
14 that we can justify that cost with the amount of energy
15 you're going to save. So, I agree with you, it is going
16 to be a big change, but we feel it's one that's justified
17 and it's worth pursuing.

18 MR. DOUGLASS [ph.]: Okay.

19 MR. SHIRAKH: Thank you. Any other questions
20 online?

21 MR. YASNY: Jany was just going to weigh in on
22 Josh's questions regarding non-attainment. He says, "I
23 believe the gentleman was suggesting that, in areas which
24 are non-attainment of the NAAQS be relieved of providing
25 fresh air which is outside the Clean Air Act required

1 levels." And he also mentions "the Clean Air Act, which
2 was last amended in 1990, requires EPA to set national
3 ambient air quality standards, 40 CFR Part 50, for
4 pollutants such as NOx, Sox, O3, CO, and PM2.5." And
5 that looks like that's it for online.

6 MR. SHIRAKH: Okay, well, thanks for that
7 clarification. If there are no other questions on this,
8 I suggest we move to the Reduce Reheat. Since we're
9 about 25 minutes behind time, I was going to suggest only
10 presenting, or spending more time on the actual Code
11 language changes and not so much time on the supporting
12 pages.

13 MR. STEIN: I could do this one a lot faster,
14 Mazi, I promise.

15 MR. SHIRAKH: Okay. Thanks. Otherwise, we'll be
16 here until 7:00.

17 MR. STEIN: Okay, look how fast, it's a blank.
18 So, this one, Reduce Reheat, current requirement for non
19 DDC systems, which there are very few of anymore, is that
20 you have to reduce the minimum airflow down to 30
21 percent. We call that a single maximum control sequence.
22 For DDC systems, you have to reduce down to 20 percent in
23 the deadband, but you're allowed to go up to 50 percent
24 in peak heating, we call that a dual maximum sequence.
25 And in both cases, the minimum can be increased to meet

1 the zone ventilation requirements. So, here's what we're
2 proposing to change. This is the Code language section
3 144(d) for DDC systems, which is the vast majority, 99
4 percent of multiple zone systems now. We aren't changing
5 the heating maximum, you know, the 50 percent, we aren't
6 changing the 20 percent minimum, all we're doing is
7 clarifying what we meant here by air flow between dead
8 band and fully heating or full cooling must be modulated.
9 We've changed that to be more prescriptive and the
10 language is the first stage of heating consists of
11 modulating the zone supplier temperature set point up to
12 a maximum set point while the air flow is maintained at
13 the deadband flow rate. The second stage of heating
14 consists of modulating the airflow rate from the deadband
15 flow rate up to the heating maximum flow rate. So you
16 have to stay at your minimum deadband flow rate as much
17 as possible, even in first stage heating, is basically
18 what we're trying to say. And I'll just show you
19 graphically what I'm talking about here.

20 So, this is the 30 percent maximum which is now
21 only allowed for pneumatic or non-DDC systems, you know,
22 the air flow can go for the maximum to the minimum in
23 cooling, and then stays at the minimum in deadband and
24 heating, and that minimum can be no higher than 30
25 percent or the ventilation requirement. And when you're

1 heating, you basically open the hot water valve to
2 maintain the thermostat at set point.

3 So, this is the dual maximum sequence using what
4 we call a temperature first dual maximum, which I would
5 argue is the most efficient, or at least the ones I'm
6 going to show you. And in this sequence, the air flow
7 goes from cooling maximum down to deadband minimum at
8 zero cooling load, stays at the deadband minimum, even in
9 first-stage heating, and in first-stage heating, the
10 supplier temperature set point is reset from some minimum
11 up to some maximum supplier temperature, and then, in
12 second stage heating, the air flow is reset from deadband
13 minimum up to heating maximum, which can be no higher
14 than 50 percent or ventilation minimum. So, this is what
15 we had intended when we put the requirement in in 2008
16 for dual maximum, this is what we intended to prohibit,
17 and which is prohibited by the current language; in other
18 words, you cannot step up, we said you had to modulate
19 both the air flow and the heating, or modulate the air
20 flow into heating mode. This doesn't modulate, this is
21 using constant volume heat in heating mode. This is a
22 very inefficient sequence because what happens, not only
23 are you going to be reheating more, but you get stuck in
24 heating mode. In other words, as soon as you set into
25 heating mode, you can't get out of heating mode until the

1 cooling load exceeds 50 percent of the design cooling
2 mode. This is what we ended up with in a lot of cases,
3 which was sort of an unintended consequence of the
4 change, which is that a lot of manufacturers used the
5 sequence that, in heating, as soon as the zone went into
6 heating, it reset both the air flow and the reheat valve
7 position, and this is what we're trying to prohibit with
8 the new revised language. And the reason, of course, is
9 that it has more reheat, right? As soon as you go into
10 heating, you're now reheating more air.

11 And so we did an analysis and basically the cost
12 is for a discharge air temperature sensor. To do this
13 version here, the simultaneous dual max sequence, you
14 don't necessarily need a supplier temperature sensor. It
15 turns out that you actually probably should have one
16 anyway because the sequence has a number of problems
17 ending up with very high supplier temperature, short
18 circuiting, you know, issues like that, poor ventilation
19 effectiveness, but, anyway, to do the sequence we want to
20 do, which is the temperature first, you really do need a
21 supplier temperature sensor, and many contractors
22 actually put these in even when they're not required
23 because they're so valuable for diagnostics and
24 commissioning. Anyway, nevertheless, we talked to some
25 controls contractors and they said, "Well, really, it's

1 no more than about \$75.00 per zone for that sensor and
2 for the controls." The controls are trivial because,
3 once this becomes code, all the manufacturers will offer
4 this as a standard control sequence, and there really is
5 no incremental controls cost, it's just this cost to the
6 sensor and the labor to install it.

7 And we did the analysis in all 16 climate zones
8 and showed that it's cost-effective down to a 1,000-
9 square-foot zone, so, you know, very few zones are likely
10 to be lower than that, you know, the vast majority were
11 likely to be higher than that, so we felt it was
12 reasonable to simply apply it across the board. And
13 again, this analysis accounts only for the boiler and fan
14 energy savings, not for the pump and cooling energy
15 savings, again, just because that made the analysis
16 easier for us to do, unless open to potential criticism.
17 So, that's about all I had.

18 Oh, actually, I did want to talk about one other
19 thing. I don't know if we want to talk about this, but I
20 just happened to notice that the form that's used right
21 now for the 2008 version is really wrong, there's a
22 number of mistakes in it, it was actually - someone
23 started with a 2005 form and tried to tweak it to make it
24 the 2008 form. First of all, there were mistakes in
25 2005, but they're really bad now. There's at least five

1 mistakes on this form, you know, pretty serious mistakes.
2 It doesn't account for demand control ventilation, so
3 even if you had demand control ventilation, it's going to
4 allow you to put in a higher zone minimum than you
5 should. This is the worst mistake on the form. This
6 used to say 30 percent. The only change they made from
7 the 2005 form is they changed the 30 to 50, so they're
8 implying that you can have 50 percent minimums now,
9 instead of 20 percent, which is what we really are after
10 with DDC systems, and 30 percent with pneumatic systems.
11 They left the .4 CFM per square foot, which was
12 eliminated in 2008. They misapplied the 300 CFM
13 exception, this exception is for if the design supply
14 flow is less than 300 CFM, then you're exempt from the
15 whole table, it's not that your minimum flow can be 300
16 CFM is your zone flow is 350 CFM. So, they really booted
17 that one. And then, of course, this doesn't account for
18 the heating maximum, which can't exceed 50 percent of
19 your design. So, anyway, this form needs a lot of work
20 and I told Mazi we would do it.

21 MR. SHIRAKH: Fortunately, we can still change
22 the form.

23 MR. STEIN: Right, and this needs to be changed
24 immediately, by the way, because I happened to see this
25 on a project we were peer reviewing of somebody else's

1 design, which was using this form, and we said, "Well,
2 they must have made that up themselves," and then I just
3 went online and downloaded it from the website and that's
4 what is on the Commission website, so...

5 MR. SHIRAKH: So, while you're at it, can you
6 look at our other forms?

7 MR. STEIN: Question, go ahead.

8 MR. WATSON: Dave Watson, Lawrence Berkeley Lab.
9 It's not the reason I'm here today, but just because I
10 have some experience working and commissioning buildings
11 with minimums on the heating side of VAV systems, I know
12 that, in morning warm-up, sometimes the building will
13 fill up with warm air from the top, and as soon as it
14 reaches the sensors, it will stop and the building will
15 still be very uncomfortable in the morning because, below
16 that, the stratified air will still be at everybody's
17 ankles. And the solution to that was to, in heating
18 mode, to increase the velocity or the volume, to mix up
19 the air.

20 MR. STEIN: Right, which is one of the reasons -

21 MR. WATSON: So what is your comment on that? I
22 guess I'm just trying to wave the flag for comfort and
23 energy efficiency, both, so I just wanted to hear your
24 comments on that.

25 MR. STEIN: Okay, well, that's one of the reasons

1 why we increased the minimum from 30 percent to 50
2 percent in heating, because allowing you to supply more
3 air means you could supply it at a lower air temperature,
4 which means you have less stratification. And so, the 30
5 percent that has been in Code forever and ever, right,
6 was there because that was the same air flow that was
7 used both in deadband and in heating, and you wanted it
8 low in deadband because you don't want to overcool the
9 space and force yourself into heating, but you needed it
10 high enough in heating to get your airflow so you could
11 do heating without trying to heat with 130 degree air
12 that's just going to stratify, so we really solved that
13 one already back in 2008 by putting in the dual maximum
14 sequence. And just to take it a step further, you know,
15 the proposed change here is only going to make it better
16 because what we found, you know, if you did the
17 simultaneous sequence, is you had pretty much the same
18 problems because, you know, it looks nice and linear here
19 and you say, "Oh, well, as I increase the airflow and I
20 open the hot water valve, I'm going to keep a nice
21 reasonable supplier temperature." But hot water valves
22 aren't linear, as soon as you crack it open you get most
23 of the heat out of it. And so, what happens is you end
24 up, like you probably have seen, with 130 degree air and
25 now you've got it at, you know, 20 percent of airflow, so

1 it's even more likely to stratify. So, this sequence,
2 you know, not only is it less efficient, but it doesn't
3 really work. Surprisingly though, this is what comes
4 with most canned zone control sequences for most
5 manufacturers, and so we actually - even more
6 surprisingly is that a lot of them still do this, even
7 though this doesn't even meet code. And maybe even more
8 surprising is that very often you see systems like this,
9 except you see it with a 40 percent or a 50 percent
10 minimum because of the kind of issues you've described,
11 and so, you know, we feel like we've really solved a lot
12 of issues at once by going with the new proposal.

13 MR. WATSON: Good, I'm glad you took comfort and
14 the efficiency into account. Thank you very much.

15 MR. SHIRAKH: What about UFAD? Would that - are
16 we doing anything related to that on the floor air
17 distribution system?

18 MR. STEIN: Well, you know, a lot of the issues,
19 and I've forgotten the gentleman's name from LBL, but
20 those are largely issues that occur with overhead
21 suppliers, so when you're doing under floor supply, you
22 don't necessarily have the stratification issues. But
23 we've used this sequence on UFAD systems -- where is my
24 sequence -- this one, you know, and it works well, so I
25 don't see any conflict or any issue there and, as Mark

1 said, UFAD is kind of on the way out.

2 MR. SHIRAKH: Why is that? Is that because of
3 changes to building profiles or -

4 MR. HYDEMAN: Well, this is a little beyond the
5 text of this particular requirement, but Center for
6 Building Environment and Alan Daly from our office worked
7 very hard to diagnose what's happening with UFAD systems
8 and why a lot of them are having problems at perimeter
9 zones, and it turns out, if you take a floor and you put
10 cold air underneath it, and it faces a slab that's really
11 hot because you've got stratification, you have a huge
12 amount of radiant exchange, and so a lot of the Delta T
13 that we were expecting to see in UFAD, you know, the part
14 of the load comes back much warmer, is going away, and so
15 the only way to fix them is to run the under floor system
16 with the same kind of supplier temperatures you would
17 have run an overhead system with, and so now you've paid
18 for a very expensive overhead, under floor system.

19 MR. SHIRAKH: With no benefits.

20 MR. HYDEMAN: With no benefits.

21 MR. STEIN: They didn't work as well as
22 advertised, they cost more, you know, they weren't as
23 efficient as we expected, so -

24 MR. SHIRAKH: Okay, you learn something new every
25 day. Any other questions from online?

1 MR. YASNY: Yeah, one second. Jamy Bacchus was
2 asking if we can fix the MECH 3C form prior to 2013.

3 MR. SHIRAKH: Well, actually we can fix it now.

4 MR. YASNY: Okay. And then Steve Taylor, I
5 think.

6 MR. TAYLOR: Yeah, my comment - 90.1 has a
7 limitation on what that maximum set point is that is
8 mentioned here, but not limited. Did you consider -- or
9 can you please consider adding in the maximum set point
10 limitation for overhead systems using the language in
11 90.1, so that this actually works better?

12 MR. STEIN: Sure, yeah. I mean, what Steve is
13 talking about is the maximum supplier temperature in
14 90.1, I think, is 20 degrees over -

15 MR. TAYLOR: Twenty degrees above base set point,
16 yeah.

17 MR. STEIN: Base set point. And there's no cost
18 associated with that, so I don't think it's going to
19 require a lot of analysis for us to do, it's really kind
20 of a sequenced issue.

21 MR. TAYLOR: It's probably what you modeled, in
22 fact.

23 MR. STEIN: What's that?

24 MR. TAYLOR: It's probably what you modeled.

25 MR. STEIN: Yeah, it is what we modeled.

1 MR. TAYLOR: So it's just finding what that
2 maximum set point is in line 3 there, if you just add
3 that requirement to that same sentence - then the maximum
4 shed point shall be no more than 20 degrees for overhead
5 systems," or whatever 90.1 says.

6 MR. STEIN: Okay.

7 MR. SHIRAKH: Any other questions online? It's
8 interesting, I think in 2008 we actually came up with a
9 compliance credit for UFAD's. Maybe we should take a
10 look at that. If no more questions, we're magically back
11 on schedule again. Thank you, Jeff.

12 MR. STEIN: I told you I could do it.

13 MR. SHIRAKH: So, Matt Tyler [sic] from PECI is
14 going to present the HVAC controls and economizing.
15 Okay, is he online?

16 MR. HART: Yeah, I'm online, do you have me on?

17 MR. SHIRAKH: Yes. You are unmuted now.

18 MR. HART: I am, okay.

19 MR. SHIRAKH: We're going to bring up your
20 presentation in a second.

21 MR. YASNY: Mazi, let me just take one second to
22 capture this presentation, this past one.

23 MR. SHIRAKH: Okay.

24 MR. YASNY: Okay, and which presentation are we
25 looking for now?

1 MR. HART: I think the title is - it has PECI in
2 the title.

3 MR. YASNY: Okay.

4 MR. HART: This is the HVAC Controls and
5 Economizing. And you're going to be changing the slides
6 on this, right?

7 MR. YASNY: Yep.

8 MR. SHIRAKH: Okay.

9 MR. HART: Okay, great. So, we're presenting on
10 some additional economizing measures, I'm going to focus
11 more on smaller rooftop units and we've got several
12 items, basically we're looking at reducing the size
13 threshold in terms of cooling capacity for economizers,
14 getting some more clarification for these smaller units
15 on integration and what that means, also talking about
16 improving the quality of economizers; there have been
17 several studies that show we've got some problems out
18 there, and then we're looking also for multi-purpose
19 rooms and classrooms, and conference rooms where there is
20 some occupancy sensor requirements for lighting, that
21 those also have some temperature adjustment requirements,
22 and heating temperature set points, as well as
23 ventilation related to the occupancy sensor. And then
24 we're going to have Mark Cherniak talking with us about
25 some new fault detection and diagnostic requirements.

1 Next slide.

2 So, the basic move here, which is in alignment
3 with 2010 ASHRAE 90.1 is moving the economizer down to
4 5,400 Btu's per hour, that's basically the same as the
5 ASHRAE requirement and I think, yeah, let's go to the
6 next slide. The analysis was done and basically anything
7 below 50,000 Btu's makes sense with a pretty healthy cost
8 in the analysis for economizer maintenance, so we could
9 make sure they were being maintained and operating
10 properly over time. So, the limit is about 4.5 tons,
11 1,800 CFM, and the rest of the requirement there is as it
12 is in the current Code. Next.

13 And again, the significant comment we received on
14 this was from HARI and they just wanted to see some
15 alignment with ASHRAE and we were able to meet that with
16 this language. Our next proposal relates to clarifying
17 integration, it's actually always been required, but
18 sometimes Code officials have difficulty seeing for these
19 electromechanically controlled devices that it actually
20 is operating in an integrated fashion, not fully
21 integrated, but with a two-stage thermostat if it's wired
22 up correctly, you do get what would be called
23 "alternating or partial integration." And so this allows
24 it to be done any way, but the idea is, when that
25 compressor is not operating, we do get the economizer

1 effect operating between mechanical cooling cycles and
2 that allow us to get a significantly higher benefit out
3 of the economizer than if it just turns off when the
4 economizer is operating, so this is really more of a
5 clarification than a new requirement. Next slide.

6 And you know, we can see how this also fits into
7 another section of the Code, again, it's basically a
8 clarification that indicates the economizer is providing
9 partial cooling and, between economizer cycles, it's
10 providing as much economization as you can get.

11 Okay, next Code proposal, this relates to the
12 actual economizer quality and early on in this process,
13 there were some suggestions that all economizers should
14 be factory installed, along with some quality
15 requirements and those were dropped just because there's
16 some shipping issues with that, and flexibility issues,
17 but we did work with industry to arrive at a series of
18 quality components that could be applied to economizers,
19 basically have a series five-year warranty, drive
20 mechanisms that are gear-driven, rather than having
21 linkages, which can get loose or jammed, and actual
22 reliability testing that manufacturers have to take care
23 of in their lab, verify that this economizer is going to
24 open and close 100,000 times, which should give it - I
25 think we estimated about an 18-year life, based on

1 typical cycling. There is a requirement that matches
2 also what we see in ASHRAE 90.1 as far as damper leakage
3 and so that's what we're looking for. The next slide has
4 the actual code language - oh, no, we capture a little
5 more - okay, the controls themselves require an
6 adjustable set point or reflectible set point, so that
7 someone can match the newer economizer set point
8 requirements with it. And then it's also important for
9 these DX systems that the primary control be located
10 after the cooling coil, otherwise we end up with a
11 comfort issue with the economizers and they get
12 disconnected in the field. There are some requirements
13 around sensor accuracy, we have seen some issues in lab
14 testing of sensors on the lowest economizers and these
15 bring requirements up to a reasonable accuracy that will
16 provide better control. And the sensor calibration are
17 plotted on a sensor performance curve so that information
18 is available from the manufacturer so that someone can
19 actually look at, say, the amp draw or voltage of the
20 sensor and actually verify its calibration in the field,
21 and we also need to have the outside air sensor located
22 to prevent false readings. In other words, either be in
23 the hood, or shielded from direct sunlight, and that
24 there be some sort of relief air system built in to
25 provide relief air so that we can actually get the

1 outside air into the building. And that is Code proposal
2 3. Code proposal 4 gets into some ventilation issues.
3 One thing that is currently unclear in the current
4 ventilation code is that, when the building is scheduled,
5 but not occupied, when a space is vacant, it's a little
6 bit unclear about whether you can reduce ventilation when
7 it's unoccupied, so we've added some language here.
8 We're using an occupancy sensor in the space and there's
9 nobody in the room, we can actually turn off the fan or
10 shut off the ventilation. These requirements are - this
11 would allow it to be done for a package unit, and we'll
12 get into the other requirements later, but we're
13 requiring it for VAV reheat systems, but for the package
14 unit it would be allowed by this language, or at least it
15 would be clarified that it was allowed.

16 We do have some provisions in here that the
17 occupancy sensors meet some requirements that already
18 exist in the lighting section, we didn't reproduce all
19 those details here, so that we have a decent quality of
20 occupant sensor, and we also made it clear that, if you
21 had a manual on-type, some of the lighting occupancy
22 sensors keep the lights off unless someone manually turns
23 it on, and that wouldn't work for ventilation control,
24 which may mean that the easiest thing to do where
25 ventilation control is required, occupancy sensor control

1 you would actually put a sensor in, and there are 24-volt
2 occupancy sensors available that are more compatible with
3 package unit or DBC control systems, and it may well be
4 as cost-effective to put that in, rather than try and re-
5 use information from the lighting sensor, just because
6 you have different trades, and we costed - when we
7 analyzed this, we costed it up as if we had a new 24-volt
8 occupancy sensor going in where these requirements were
9 applied. And then - go ahead.

10 MR. SHIRAKH: I wonder if this language has been
11 cleared by the Cal OSHA folks, they may have some issues
12 with this.

13 MR. HART: Yeah, at this point, it's been out in
14 the stakeholder groups, we haven't heard specifically
15 from them at this point.

16 MR. SHIRAKH: Yeah, I don't think they're aware
17 of it.

18 MR. HART: Yeah, and we should probably loop them
19 in.

20 MR. SHIRAKH: They've engaged us on other parts
21 of the Code, the garages, labs, and other areas, and
22 they're very vocal and it appears to me that they would
23 be interested in this, as well, they just don't know that
24 we're doing this.

25 MR. HART: Right. And, again, reading the

1 current language, it looks like the current language
2 could be interpreted to allow this, so we're positing it
3 as a clarification. In addition, this is compatible with
4 the National Consensus Standard, ASHRAE 52.1, that
5 specifically has examples in Users Manual -

6 MR. SHIRAKH: Usually, they don't buy those
7 arguments, so...

8 MR. HART: Yeah, well, okay. And we also require
9 that there is a purge cycle that does occur daily as
10 required in the ventilation code that the occupancy
11 sensor does not lock that out. And so, anyway, these are
12 just basically allowing circumstances.

13 The next part of the Code proposal and the next
14 slide, we're looking at multi-purpose rooms that are
15 smaller than 1,000-square-feet, so you can actually get
16 an occupancy sensor of that room, classrooms and
17 conference rooms of any size, when we've got a variable
18 air volume system, we'll have an occupant sensor and
19 there are two things that is going to create, one is
20 actually broadening out the deadband a little bit, this
21 just allows that room to float a little bit, it's still
22 actually within the comfort range and shouldn't take very
23 long to recover from this slight adjustment in
24 temperature, as well as close its own damper so that,
25 when that space is unoccupied, we don't continue to

1 provide ventilation air, which also needs to be reheated
2 into that space, typically when it's empty. And I think
3 that's the conclusion of that measure.

4 I don't know if we want to answer questions on
5 those first four proposals before FED, or answer all the
6 questions.

7 MR. SHIRAKH: No, we can take questions on the
8 first four. Jon McHugh has a question.

9 MR. MCHUGH: Jon McHugh, McHugh Energy. Reid,
10 you know, this proposal has a huge impact on the state.
11 Just to start with, approximately what fraction of the
12 energy consumption by air-conditioning is saved by this
13 particular measure?

14 MR. HART: You know, we analyzed it on a per case
15 basis. Matt, are you online? Did you work up any
16 statewide numbers?

17 MR. TYLER: Yeah, this is Matt. Jon, we don't
18 have that just yet for our statewide, but that's
19 certainly something that we could provide.

20 MR. MCHUGH: I guess the next question is, you
21 saw the presentation earlier by Taylor Engineering about
22 what they're proposing for integrating economizing with
23 the loading of the air-conditioner compressor, and so I
24 just make the comment that I think you two need to
25 organize your language there about, you know, cycling -

1 the cycling type control of the compressor relative to
2 the control that Taylor Systems has pointed out.

3 MR. HART: Yeah, I think some overview of the
4 language is probably important. Their variable capacity
5 provisions don't come into effect until 2015, and these
6 other provisions would come in as soon as the Code is
7 adopted, and also, theirs, I believe, stop at a certain
8 size, around six tons, and this would capture actually
9 where about the majority of units are in that four and
10 five-ton range, requiring to have variable speed. But it
11 probably makes sense to look at how all this language
12 fits together so it is clear in the Code.

13 MR. MCHUGH: And then, finally, you have a series
14 of requirements to actually make sure that the economizer
15 works in terms of its physical capabilities. Is there
16 any reason to place a lower limit on that? I mean, if
17 someone makes a really small economizer, wouldn't you
18 want to make sure that the damper is able to cycle and
19 all the various things that you have to make sure that
20 the economizer works?

21 MR. HART: Yeah, I think that's a straightaway
22 economizer requirement, so I think it applies to any
23 economizer, not -

24 MR. MCHUGH: I thought the language you showed
25 here on the screen had a minimum size that it applied to.

1 MR. HART: Oh, I see, okay.

2 MR. TYLER: That's just how the cost-
3 effectiveness works out and that we needed to establish a
4 lower limit for cost-effectiveness.

5 MR. MCHUGH: Yeah, I would just ask that maybe
6 you revisit that question around the issue of public
7 safety in terms of, you know, that the economizer
8 actually works correctly and maybe some of this is
9 actually justified in terms of if someone - so you have
10 requirements that require an economizer, you know, then
11 you need to show cost-effectiveness, but when someone
12 chooses to install an economizer, should there be some
13 minimum requirements for that economizer for public
14 safety issues that I think actually trumps the cost-
15 effectiveness argument? Thanks. I guess the final thing
16 is, that would certainly make those requirements a lot
17 easier to enforce, that those requirements apply across
18 the board. Thank you.

19 MR. HART: Yeah, hopefully we'll get some
20 spillover even if there is a minimum size, so that once
21 manufacturers are providing this testing, you know,
22 pretty much it'll be done for their economizers across
23 the board, a lot of these requirements are [inaudible].

24 MR. OATMAN: Hello?

25 MR. SHIRAKH: Go ahead.

1 MR. OATMAN: Yes, Ron, were you calling on me?

2 This is Kirk Oatman.

3 MR. YASNY: Yeah, go ahead.

4 MR. OATMAN: Yeah, so the chat message that I
5 sent was I had an exchange with Gary Flamm yesterday. It
6 looks like he is going to consider adjusting the
7 definitions of things like occupant sensor and some
8 things like that, to specifically, well, to define them
9 more as the functionality rather than as a device, and
10 that comes from the fact that IMN [ph.] Control offers an
11 EMS that can provide all those capabilities, not just as
12 a direct connection from a sensor to turning something on
13 and off, but taking many more things into effect. So, we
14 would like to see language which kind of throughout,
15 where there is a consideration of the fact that there is
16 an EMS operating at a higher level, rather than a simple
17 device like, you know, the one slide says "two-stage or
18 electronic thermostat," you know, another says "setback
19 thermostat" where we can provide all the setback
20 capabilities as long as the thermostat is a communicating
21 thermostat. Does that make sense to you?

22 MR. HART: Yeah, I think we tried to revise the
23 language, I'm back on slide 7, so it says "shall have
24 control systems," and then it says, "...including two stage
25 or electronic thermostats." And we did get this feedback

1 earlier and, you know, if you have suggested better
2 wording on that, but the idea of control systems, and
3 then it goes to what the functionality is, but it's just
4 trying to indicate, well, two stage or electronic
5 thermostats. We'll provide that functionality because
6 that is typically on the lower end units of what goes in
7 and trying to make it easier for the Code Official to
8 understand for a lot of these smaller package units.

9 MR. OATMAN: Yeah, and that certainly is the
10 challenge in all of this, to define it so that it can
11 apply both to low cost installations and to an
12 installation which has an installed EMS. Now, just as a
13 reminder, a system like ours can be very inexpensive, so
14 you know, we don't want to get stuck in thinking that
15 EMS's are only for very large buildings, they can end up
16 applying to some pretty small installations. So, I mean,
17 for instance, on slide 7 here, you know, it does say
18 "shall be equipped with a setback thermostat," it doesn't
19 say, "or system," and I think there are references that I
20 saw other places in the chat I mentioned, Section 144,
21 149, and 121, 122, that have references to devices
22 instead of functionalities, so again, Gary Flamm, I
23 think, if - you mentioned you might be referring to some
24 of his definitions, at least for occupancy sensor; maybe
25 that would be the way to approach it for this, to have a

1 definition which prescribes the functionality for the
2 thermostat kind of devices or functions, and then refer
3 just to those definitions.

4 MR. HART: Yeah, you know, this is existing
5 language and we try to be consistent and I think we can
6 certainly look through that as we're polishing up the
7 language and make it more general.

8 MR. OATMAN: Yeah, I don't mean to make a huge
9 amount of work and change, but I think it's really
10 important that this revision really specifically
11 acknowledges and enables EMS's to frankly provide even
12 greater savings than simplistic individual devices can,
13 so we kind of want to encourage that, rather than make it
14 difficult or, unfortunately, sometimes people will just
15 interpret language that is not explicit, their own way,
16 and perhaps not approve an EMS installation in which the
17 intention at this moment, as we're all talking, might
18 have been to have approved.

19 MR. SHIRAKH: So, Reid, do you know Gary Flamm?
20 He is on our staff here.

21 MR. REID: Yeah, we'll get in touch with Gary and
22 see what efforts are going on and make sure we
23 coordinate.

24 MR. OATMAN: Thanks, gentlemen.

25 MR. SHIRAKH: Jon.

1 MR. MCHUGH: Jon McHugh, McHugh Energy. I think
2 the language that's currently there is pretty important
3 and I think the main part of this section, so it doesn't
4 describe the control system, but it is indicating two
5 stage or electronic thermostats, the primary issue here
6 is that, for these small economizers, a very common
7 failure mode is that these systems have been installed
8 with a single stage thermostat, so that's the primary
9 purpose of the electronic or two stage thermostat that is
10 in here, so it's actually a pretty important part of the
11 language. Thanks.

12 MR. HART: Yeah and I think we want to leave that
13 in, I think the issue as I understood it was more
14 actually with the existing language under number 1 for
15 setback thermostat and, you know, I'd have to sit down
16 and look at Section 112(c) and see how that describes
17 things, and make sure we do allow a more, you know, the
18 control functionality, not just a setback thermostat, so
19 we'll take a look at that.

20 MR. SHIRAKH: Okay, any other questions on the
21 first four proposals online?

22 MR. YASNY: Yeah, let's see, John Douglass (ph.)
23 wants to make a comment. John?

24 MR. SHIRAKH: John, if you're muted, you need to
25 unmute yourself. We can't hear you, if you're still

1 interested in making a comment, why don't you send us a
2 chat message?

3 MR. YASNY: Okay.

4 MR. SHIRAKH: Any other comments on the first
5 four proposals? And if we get a comment, we can always
6 come back to it, so I'm going to move forward to proposal
7 5, Fault detection. Go ahead, Reid.

8 MR. CHERNIAK: Mazi, this is Mark. I presume you
9 can hear me?

10 MR. SHIRAKH: Yes.

11 MR. CHERNIAK: Just a note, by the way, John
12 Douglass said he's trying to talk to everyone. It did
13 come through on the chat, so I didn't know if you wanted
14 to try him again.

15 MR. SHIRAKH: If he's still online, he can -

16 MR. YASNY: Yeah, he's unmuted, so I don't know
17 what to do.

18 MR. SHIRAKH: We haven't muted anyone, everyone
19 is open now.

20 MR. CHERNIAK: Okay, good. Thanks. So, this is
21 Mark Cherniak, New Buildings Institute. I'm representing
22 the PIER part of the team, the case team and PIER team
23 put together this Code change proposal for RTUSDD. I was
24 part of the 2008 Title 24 initiative that got FTD for
25 rooftop units, and terminal air handling units, and as a

1 compliance option, but since that time, we've been
2 looking at moving ahead with a proposal for a
3 prescriptive requirement, again, not that this would not
4 be a mandatory requirement, but prescriptive, but these
5 may tend and do tend to set the basis for performance
6 standards. Next slide.

7 And here is the proposed language, and we are, by
8 the way, since we have also been talking to folks, we're
9 also putting our eggs in the 54,000, the 4.5-ton basket,
10 in terms of FTD requirements, along with, again the
11 economizer requirement. Next.

12 And these sensors, we would like to be
13 permanently installed in the unit, you can see all of
14 those right there. And next.

15 System requirements that we would like to see,
16 first, that the unit controller can initiate, in other
17 words, an operator technician can initiate the operating
18 sequences to make sure things are actually operating as
19 required, or as designed, that we get the information
20 from the unit off the roof either into the building in
21 some manner, or to a more remote location, however that
22 might happen. We're certainly not prescribing the method
23 that could take, but anyway, to get the information off
24 the roof to an owner or a service contractor, a building
25 manager.

1 A performance indicator that allows simply
2 understanding the efficiency of what's going on in the
3 unit, and having the system itself certified by CEC and
4 verified to be installed correctly. The next stage, of
5 course, in addressing these particular issues have to do
6 with the development of methods of test, as well as alarm
7 or fault detection thresholds. Southern California
8 Edison has completed a Statement of Work and will begin
9 work very shortly on developing methods of tests, as well
10 as test thresholds.

11 We've asked U.S. DOE if they would like to
12 collaborate with us on the development of the test
13 methods and thresholds due to their rooftop units, high
14 performance specification, it came out a month or a month
15 and a half ago. We have selected six faults at this
16 point, we originally started with a list of 13, and we've
17 paired them down largely in response to the reality right
18 now that the OEMs have all of the major manufacturers
19 offering rooftop units of a certain class, certainly,
20 have one or more of these faults already embedded in
21 their controls and controllers, and we thought this would
22 be a good place for us to start in terms of moving ahead,
23 or potentially an additional number of faults or alarms
24 to be embedded at a future date. But we know the market
25 is moving along. Next slide, please.

1 There are third-party providers, as well, of some
2 of these fault detections, so, again, currently available
3 products certainly by the OEMs that list on the tops the
4 bullets, and at the bottom we've got three additional
5 parties, at least, at this point in time, who can put
6 these capabilities to use currently, certainly in
7 retrofit equipment -- for retrofit, as well as for new
8 equipment. Next.

9 And there are pieces of this FTD in development,
10 the smart monitoring and diagnostic systems from PNNL,
11 it's been under development and continues in development,
12 NILM, Non-Intrusive Load Monitoring, an idea that came up
13 at MIT, one that Virtjoule and Company is pursuing at
14 this point in time, so we're very confident in terms of
15 the availability of product by the time the 2013
16 implementation date comes around. As I said, we will
17 have methods of tests and thresholds clarifications, or,
18 sorry, I should say "thresholds metrics" available later
19 this year. So, any questions?

20 MR. SHIRAKH: Jon? You're the only audience
21 here. Okay, no questions from the audience here.
22 Anybody online? Okay, well, I think we're all good,
23 then. So, thank you for that presentation and we're
24 going to move through our last item on the agenda, Air
25 Compressors and Russ Torres from Energy Solutions is

1 going to present that. Russ, are you online? Can you
2 try Russ again?

3 MR. YASNY: Russ?

4 MR. TORRES: Hi, can everyone hear me?

5 MR. YASNY: Yes.

6 MR. SHIRAKH: Yes, we can.

7 MR. TORRES: Oh, great.

8 MR. SHIRAKH: So we're going to load your
9 presentation, just give us a moment.

10 MR. TORRES: That's fine.

11 MR. YASNY: Actually, this looks like Version 2,
12 I think there is a newer version, isn't there?

13 MR. TORRES: There is a newer version, it should
14 be the PDF, version 3.

15 MR. YASNY: Oh, that's right, we're going to use
16 PDF, right.

17 MR. TORRES: Sorry about that. We've been having
18 some issues with our Powerpoint.

19 MR. YASNY: Okay.

20 MR. SHIRAKH: Do you have a Powerpoint?

21 MR. YASNY: No.

22 MR. SHIRAKH: All right.

23 MR. TORRES: There should be a way to actually
24 put this in a presenter mode. Maybe in tools.

25 MR. YASNY: Guide me.

1 MR. TORRES: Actually, we have different
2 versions, don't we? It's okay, we can work off this,
3 this is fine.

4 MR. SHIRAKH: I couldn't hear what he was saying.

5 MR. TORRES: We can work off of this, this is
6 fine.

7 MR. YASNY: I can make it a little larger if that
8 would be helpful. Would you like me to make it larger?

9 MR. TORRES: No, this is fine, it will be easier
10 to switch pages if you don't make it larger.

11 MR. YASNY: You're up.

12 MR. TORRES: Great. Thank you. So, I'm Russell
13 Torres and I am one of the case leads for the Compressed
14 Air Systems Measure. I'm working with Ransom Byers, also
15 from Energy Solutions. And so the scope of our proposal
16 is looking at mandatory requirements for compressed air
17 systems that are at least 25 hp and above. Again, this
18 is helpful for new construction and major renovations.

19 So, before I go through the presentation, I just
20 want to give you a brief overview of what we'll be
21 looking at. So, first, we're looking at the proposed
22 Code change language and I'll give you a few minutes to
23 look over this. I won't take any questions now, I'll
24 first go over kind of how we got to this proposed Code
25 change language by going through some of our motivations,

1 the methodologies as far as energy savings and
2 incremental cost goes, and then our lifecycle cost
3 analysis. And then we'll turn back to this proposed Code
4 change language and kind of go through some of the issues
5 that we've been resolving and then have a discussion
6 about it. So, again, I'll be giving you a couple of
7 minutes to look at the Code change language. [Pause]

8 MR. SHIRAKH: Is everyone okay with advancing?

9 MR. TORRES: So, our motivations behind looking
10 at compressed air is that compressed air is actually new
11 territory for Title 24 and basically Title 24 has been
12 looking at a lot of the low hanging fruit as far as like
13 lighting and HVAC is concerned, but process loads were
14 something that were kind of new. The only process loads
15 that are currently regulated by Title 24 are refrigerator
16 warehouses and, for compressed air, it comprises about 16
17 percent of industrial motor systems energy and, within
18 that, I think it's about 10 percent of the total
19 industrial energy use. This is about 90,000 gigawatt
20 hours of annual consumption. Now, with cost-effective
21 measures, with less than a three-year payback, savings
22 can be at least 70 percent or more. This is around the
23 15,000 gigawatt hours annually. Next slide, please.

24 I mentioned that there are cost-effective
25 measures with less than a three-year payback. Well,

1 those are a lot of measures and this is a lot of term
2 measures that anyone can look at for any compressed air
3 system, and Ransom and I spent some time kind of going
4 through all of these energy efficiency measures, speaking
5 with stakeholders, doing some research, and kind of based
6 off this process and a couple other factors, we nailed it
7 down to two -- next slide, please - the first being
8 requirements for a full range efficient trim compressor,
9 as a designated trim compressor, on all compressed air
10 systems. So, a trim compressor looks at the term load
11 and kind of takes care of that term load above what the
12 base load is. The term load is pretty variable and, so,
13 the compressor for the most part is at part load. Now,
14 [inaudible] machines don't work very well with part-load,
15 but there are certain machines that do work well with
16 part load, like a variable speed drive compressor. We
17 originally had a proposal to require a VSD compressor,
18 however, we decided to move towards specifications for
19 compressors like a VSD. Basically, we wanted a trim
20 compressor that could achieve the same thing as a VSD,
21 but not limit you to a certain technology. Second, we're
22 looking at requirements for smart system controls on
23 multi-compressor systems, the minimum requirements being
24 that it's able to make a decision based on what the
25 current demand is, as measured by a sensor, and then we

1 had looked at a requirement of having it be able to work
2 with various manufacturers and compressor types. But
3 we'll get to that portion when we move forward to the
4 Code change proposal. Next slide, please.

5 So, as far as energy savings goes for smart
6 controls, we first had to set up our baseline and we came
7 up with four different baselines. This was based off of
8 data from a Utility Voluntary Program; we wanted to get a
9 good sense of kind of what the market was and based off
10 of that, and some stakeholder feedback, we came up with
11 four different baselines that were of different sizes.
12 With these baselines, there were also two different load
13 profiles, one load profile was matched fairly well to
14 what the compressor makeup was, and the second load
15 profile had a slight change from what that original load
16 profile was. This was to model the changes in demand and
17 load as throughout the life of a compressed air system
18 because change does happen. For each of the baselines,
19 the load profiles are pretty much the same, they're just
20 normalized to what the compressed air system capacity is,
21 and then we also included auto shutdown timers. We felt
22 that this was a conservative move on our part because
23 some systems don't always come with auto shutdown timer.
24 We then took these baselines, ran them by our
25 stakeholders to kind of get some feedback, made some

1 changes, then went forward in modeling. We then modeled
2 each of these baselines in Airmaster with the help of a
3 certified Airmaster instructor, and then applied these
4 smart controls manually because it's not actually
5 something you can do specifically in Airmaster. We then
6 compared the energy use to determine the annual savings.
7 Next slide, please.

8 As far as energy savings for VSDs, we looked at
9 specifically just the trim compressor and our baseline
10 trim compressor was a load/unload lubricant injected,
11 rotary screw compressor with two gallons of CFM storage.
12 This was based on feedback from our stakeholders and it
13 looked more like one gallon of CFM per storage was more
14 typical, but the two gallons of CFM storage were more
15 typical if an audit had been done, so we decided to go,
16 again, with the more conservative route.

17 For the modeling plan, we modeled both VSDs and
18 the baseline with two gallons of CFM of storage and we
19 modeled these baselines with Excel formulas. These
20 formulas were actually based off of information from
21 Airmaster and the reason why we decided to use Excel was
22 so we could do a more broad analysis, or a parametric
23 analysis to look at many different compressors with
24 different load profiles. We then compared the energy use
25 per hour for each trim compressor and then had our energy

1 savings. Next slide, please.

2 The incremental costs for smart controls includes
3 a control unit, which makes those decisions, the
4 interface with each of the compressors, any sensors that
5 are necessary, and then also the labor. Now, labor is
6 usually not included for incremental costs, but we
7 thought that there is actually a lot more man hours
8 required to set up a smart control properly. So we
9 decided to include these costs. These costs are based on
10 estimates from three different manufacturers, for each of
11 the model baseline systems; basically, we showed them our
12 baselines and asked each of these manufacturers to give
13 us an estimate. For VSDs, these costs are also based on
14 values from manufacturers and were also shown to various
15 stakeholders for feedback. These costs also include a
16 trendline, again, because we're performing a parametric
17 analysis, this trendline is actually quite necessary.
18 Next slide, please, thank you.

19 So, in this graph, we looked at the estimated
20 costs to add smart controls for each of the baseline
21 systems. Now, for baseline 1, 2, and 3, each of these
22 systems are a two-compressor system, just of various
23 sizes, and for smart controls what is really driving the
24 cost is the number of components. So, for baseline 1, 2
25 and 3, because each of them is a two-compressor system,

1 the incremental cost is the same. For our last baseline,
2 this is the three-compressor system, and the cost
3 increases, as you can see. Next slide, please.

4 For the incremental cost for the VSD compressors,
5 we compared them to cotton [ph.] speed rotary screw
6 compressors, and we had information for both discounted
7 prices and what the original prices were, and since the
8 original prices were more expensive as far as incremental
9 cost goes, we decided to move forward with those
10 incremental costs and then base our trendline off of it.
11 Next slide, please.

12 For smart controls, we took our incremental costs
13 and our energy cost savings and then compared them, and
14 looked at what the LCC savings were - sorry, the Life
15 Cycle Cost savings were. And because the lifecycle cost
16 savings were all positive, it shows that for each
17 baseline, smart controls are cost-effective. Sorry, can
18 you go back to the last slide?

19 One thing we also noticed is that - we looked at
20 baselines of different sizes because we believed that the
21 larger the size of the system, the more savings we would
22 get, but it turns out that that's actually not the case.
23 What we ended up finding was that, if the expresser
24 makeup was matched very well to the low profile, and then
25 the savings weren't as high, so we really didn't depend

1 on size, but more on kind of the demand profile and what
2 the compressor makeup is, however, for the most part, a
3 compressor system isn't matched very well to the demand
4 profile. In new construction, the demand profile isn't
5 really known until the system is actually run and, even
6 then, the demand profile changes, as I mentioned before.
7 Next slide, please.

8 For variable speed drives, we looked at three
9 different profiles operating in various ranges, and for
10 each of those profiles and for a variety of trim
11 compressor sizes, for each of them it shows in this graph
12 that this measure is cost-effective. And, again, we were
13 looking at kind of mostly new construction, but we are
14 also looking at renovations and retrofits. For smart
15 controls, we're looking at having the mandatory four
16 renovation retrofits if the combined horsepower of both
17 compressors is increased. And our reasoning for this is
18 that we believe the smart controls, there isn't any more
19 additional cost to doing it for a retrofit, rather than
20 the new construction, whereas there would be a fee if you
21 have to add in a new compressor, especially a large one,
22 the incremental cost might be a bit more. And so, for
23 renovations and retrofits, we're looking at just smart
24 control being mandatory. Next slide, please.

25 This is the proposed Code change language that we

1 looked at in the beginning of the presentation. I just
2 want to call out a few things before we get into
3 questions for the trim compressor requirement, so Part B.
4 Again, we were originally looking at requiring a VSD and
5 we decided to go more towards looking at part load
6 performance instead. And we'll go into kind of the
7 numbers. Right now, it says maintaining 22 kilowatts or
8 less of input power per 100 acfm of output. Those
9 numbers are actually still things we need to tweak and,
10 again, that will be talked about in the next slide. And
11 then we also wanted - sorry, can you go back - thank you.
12 We also wanted to make sure that these trim compressors
13 were sized appropriately. Some of the feedback that we
14 got from stakeholders is that we thought a size
15 requirement on the trim compressor, it might be able to
16 provide a loophole for people to perhaps put in a VSD
17 that was really small, like, say, a five horsepower one,
18 and we want to avoid that loophole, so our size
19 requirements can be based off of what we consider is the
20 useful trim load and we're still trying to define this,
21 but basically we're looking at kind of what the largest
22 step size is within a system to avoid any control gaps.
23 For the smart controls requirement, Part A, again, we had
24 originally had the requirement that the control system
25 would be compatible with compressors of different

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 manufacturers and different types, but after speaking
2 with a few stakeholders, we realized that this
3 requirement isn't actually that important and so we took
4 it out and focused on a control system that can choose
5 the most energy efficient combination of compressors
6 based off of the current air demand. So, given all that,
7 does anybody have any questions?

8 MR. SHIRAKH: Any questions from the audience?
9 Anybody online? My only comment is - this is Mazi - that
10 some of this language has to be changed to what we
11 consider proper Code language; for instance, we don't
12 need to have references to building permits and things
13 like that, it's already assumed. So we'll clean that up
14 later.

15 MR. TORRES: Okay.

16 MR. SHIRAKH: So there are no more comments.

17 MR. TORRES: So I have, actually, two more slides
18 to go over the issues that I called out. So, for part
19 load performance metrics, we're looking - we're wondering
20 if there is an industry standard metric for evaluating
21 trim compressor part load performance. The CAGI
22 datasheets that we've been seeing show what the
23 performance is at a certain rate of pressure and so now
24 what we're looking at is for some continuous range of,
25 say, X percent of the compressor's total range that the

1 compressor can deliver air at a certain pressure, using
2 less than an efficiency performance value, P KW/100 CFM,
3 at all points within the range. So, in our proposal, X
4 is actually 70 percent of the range, and P is 22 KW/CFM.
5 Some of the feedback that we received is that efficiency
6 metric P might change, depending on what the operating
7 pressure is, and so what is still on our plate has to do
8 with plenty of different variable speed drive compressors
9 at different operating pressures, and looking at that
10 KW/CFM metric. I guess what we're kind of hoping to get
11 from stakeholders is if there is perhaps other sources of
12 part load performance data for VSDs, maybe there is a
13 study done that we just haven't found, or, if going
14 through CAGI datasheets is kind of our best bet for this.

15 MR. SHIRAKH: There are no comments.

16 MR. TORRES: So I guess those are the issues that
17 we're looking at for the trim compressor. Next slide,
18 please.

19 So this has specifically to do with smart
20 controls, but also for trim compressors. So, with smart
21 compressors, there is a set-up process that is required
22 and I guess what we're hoping for is, is there some
23 standard output for all smart control systems based off
24 of what the set-up process is. One of the tests that was
25 suggested was that we run the compressors through - I

1 guess through its full range, going from zero all the way
2 up to its full load, and then back down, and seeing the
3 smart control react to each of those. But if anyone
4 online has any ideas about if there is a standard output
5 to setting up smart control, our case team is curious.

6 MR. SHIRAKH: Does anyone online have any
7 suggestions? It's all quiet.

8 MR. TORRES: I believe this is actually my last
9 slide, so if anyone does have any questions or comments
10 that are online, and maybe they're just not talking now,
11 please feel free to give me or Ransom a call, or send us
12 an email; we would definitely appreciate your feedback.

13 MR. SHIRAKH: Okay, any questions related to the
14 air compressors?

15 MR. YASNY: It looks like we do have a comment
16 from Eric Bessey.

17 MR. SHIRAKH: Okay, we're getting a lot of
18 background noise.

19 MR. BESSEY: Hello?

20 MR. TORRES: Hi, Eric.

21 MR. BESSEY: Oh, you can hear me, okay.

22 MR. TORRES: It's a little rough, actually. Are
23 you driving or -

24 MR. BESSEY: No, I'm just at my office here.
25 That's interesting, I wonder if my computer microphone

1 might be better. Maybe I can flip open the lid here and
2 go that route. Let's see here -

3 MR. YASNY: I'm going to mute everybody but Eric.

4 MR. BESSEY: Hi. Hello, can you hear me?

5 MR. SHIRAKH: Yes, we can.

6 MR. BESSEY: The trim compressor, maintaining an
7 efficiency of 22, I don't recall how that 22 was
8 achieved, where that came from, but that's not my point;
9 I wondered if the wording should be an average of P
10 KW/100 CFM instead of having a direct number because the
11 load/unload compressor is going to be loaded sometimes
12 and unloaded sometimes to achieve an average of that
13 value. So, I don't know what your thoughts are about
14 that. That was the comment I had about trim compressors.
15 And then, about smart controllers, there really isn't -
16 you know, the smart controller isn't trying to achieve
17 efficiency, it's just barking out orders, it's loading
18 and unloading compressors, turning them on and off, and
19 as long as the compressor does that, then it is doing its
20 job. It's not like you're tuning the controller to
21 achieve better efficiency, you're just telling it to do
22 things and it's doing discrete things. So, it's not the
23 controller that's efficient, if you know what I mean,
24 it's all about how you program it, and then it just does
25 what it's told to do. So... Anyway, that's all I had to

1 say. Hello?

2 MR. SHIRAKH: Yes, we can hear you.

3 MR. BESSEY: Okay, that's it.

4 MR. SHIRAKH: Okay, any other comments or
5 response? Ron?

6 MR. YASNY: Russ?

7 MR. TORRES: Yeah?

8 MR. YASNY: Okay, you're back on.

9 MR. SHIRAKH: I don't know if you have a response
10 to that, Russ?

11 MR. TORRES: Regarding smart controls? I mean, I
12 understand your point, Eric, and I guess I'm curious if
13 there's - again, if there is a standard output process
14 for kind of testing smart controls, I imagine that it's
15 probably different for every manufacturer, kind of based
16 off how they program the smart controller, but, I mean,
17 if you had a sense of maybe if there was a standard test
18 that people do, if you have any thoughts on that, Eric?

19 MR. BESSEY: Well, it's - what's the specs for
20 the smart control, I mean, that's the first thing - what
21 is a smart control? What does a smart controller do?
22 What's the spec? And then, can a manufacturer meet that
23 spec? That's what it is, so you just have to tell them,
24 I mean, you program the thing to do what it's supposed to
25 do, and then you can verify that it does that, you know,

1 through some commissioning, "Oh, yes, it does indeed keep
2 Compressor A as the trim machine at all times."
3 Certainly, you would not want a smart controller to
4 baseload a VSD, that would be counterproductive, so maybe
5 you specific that the VSD must remain trim at all times.
6 Well, you program it to do it, and then you look at it,
7 you know, it's like lights, you know, motion detectors on
8 lights in rooms, you don't really - you're not
9 programming it to be efficient, you're just programming
10 it to turn the light on and off when it's supposed to, so
11 you verify that through observation more than anything -
12 is the smart controller turning compressors on and off?
13 It doesn't matter what the efficiency of the compressors
14 is, it's just is the smart controller doing what it's
15 supposed to do. So, that's it.

16 MR. TORRES: Okay, I mean, it does look like we
17 may have to kind of push forward on an acceptance test.

18 MR. BESSEY: Yeah, there probably needs to be
19 some sort of spec, you know? It can be fairly loose so
20 that people - so that all players can play, but certainly
21 some verbiage of not having the 300 hp be the trim
22 machine while the 150 is the base, when it could easily
23 be the other way around, you know, so something like
24 that.

25 MR. TORRES: Yeah. Ransom, did you have any

1 comments, actually? Ransom?

2 MR. BYERS: Hello, this is Ransom. Can you hear
3 me?

4 MR. SHIRAKH: Yes, we can.

5 MR. BYERS: Okay, great, thanks. I see what
6 you're saying, Eric, and I guess our very very loose
7 wording approach to that was the simple sentence that it
8 has to be able to look at the current load and pick the
9 most efficient set of compressors, and so in an ideal
10 world it seems like that captures essentially what the
11 control should be doing in all situations. Are you
12 suggesting that we should get more specific, like either
13 one direction we have a longer set of cases, or rules
14 that are a little bit more specific in that laying out
15 the things it should be doing to achieve that goal? Or,
16 even more specific, talking about particular types of
17 compressors and how they should be controlled?

18 MR. BESSEY: Well, maybe for starters. It's kind
19 of a, you know, the fairly open spec you have now, that
20 the controller should maintain the mix of most efficient
21 compressors, well, that might be good during part of the
22 time, but it may be there's another part of the time when
23 that simply doesn't work for a certain load based on, you
24 know, it could be maintenance factors, there could be
25 demand rates of change factors where maybe the most

1 efficient mix of compressors are being met at this
2 particular time, but arguably is the best way to do it
3 based on some other factors? So, there's room for, you
4 know, if you leave it like that, there's room for
5 interpretation and judgment calls, then maybe that works,
6 you know? You're blatantly not making the most efficient
7 compressors, you're baseloading your VS compressor,
8 that's certainly one thing, but there might be another
9 time when, "Okay, I do see why you're running your
10 compressors in this way." Mathematically it's not the
11 most efficient, but it certainly fits the bill best,
12 given this particular situation. So, if you leave it
13 open for judgment like that, then maybe that's okay, you
14 know?

15 MR. TORRES: Okay, thank you. We'll definitely
16 look at that again and see if maybe expanding that would
17 be helpful. And we'll follow-up with you directly with
18 whatever we think of that seems to make sense.

19 MR. BESSEY: Sure, yeah. Maybe just a couple of,
20 you know, footnotes on it, you know? An example: "Do
21 not baseload your VS compressor and part load with the
22 constant speed load and hood [ph.]" Maybe just a couple
23 of examples like that to lead people the right way.

24 MR. TORRES: Right, exactly. So maybe not
25 necessarily covering every single scenario that might be

1 there, but the most common big ones, you know, "This is
2 the sort of thing that it should be doing."

3 MR. BESSEY: Yeah, the big follies, there are a
4 couple of big follies that controllers can do and you
5 cover those big ones and maybe that's okay for now.

6 MR. SHIRAKH: So generally examples don't go into
7 the Code language, they go into the Compliance Manuals?

8 MR. BESSEY: Uh huh.

9 MR. SHIRAKH: We can probably handle it that way.

10 MR. TORRES: Okay, that sounds like a good way to
11 do it.

12 MR. BESSEY: I didn't hear that, please repeat.

13 MR. TORRES: So, separately, there's the
14 Compliance Manuals and then there's the Code language,
15 itself, and he was saying that the examples and things
16 like that would tend to go in the Compliance Manuals
17 rather than the more synced direct Code language, itself.

18 MR. BESSEY: Oh, yeah, sure, okay, yeah, that
19 makes sense.

20 MR. SHIRAKH: Mike.

21 MR. MCGARAGHAN: Mike McGaraghan, Energy
22 Solutions. Thanks, Eric, for your input here, and I
23 think we can take this offline, I just want to circle
24 back to the main point here, is really a compliance
25 issue, is just how do we ask a Building Inspector to go

1 into a building and confirm relatively quickly that these
2 controls are doing what they're supposed to be doing, and
3 if that requires an on-site test, some sort of acceptance
4 test to do that, we could try to set that up. But if
5 it's something that installing contractors, if there's
6 some series of tests that people do anyways when they're
7 installing the controls, that demonstrate some of these
8 examples that you're talking about, then maybe we don't
9 need to do any additional acceptance testing, we just
10 need some documentation of the fact that these controls
11 have already been set up to do XYZ, and that
12 documentation could be shared with the Building
13 Inspector. And so that's what I think the case team is
14 getting at, you know, how do we summarize that process
15 into some sort of form or to streamline compliance.
16 That's all, thanks.

17 MR. SHIRAKH: Thank you. Any other questions or
18 comments from the audience in the room? I don't see any
19 hands. What about anyone online? So, I take it that was
20 not a comment. Any other questions or comments about
21 anything related to anything discussed today or to the
22 Standards?

23 So with that, I'm going to close the workshop for
24 today and we'll reconvene again on May 5th, which is about
25 a week from now and that would be our last Nonresidential

1 workshop before we move to the Res. Thank you so much.

2 (Adjourned at 4:18 p.m.)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF,

I have hereunto set my hand this 6th day of June, 2011.

A handwritten signature in cursive script that reads "Kent Odell". The signature is written in dark ink and is positioned above a horizontal line that spans the width of the signature.

Kent Odell
CER**00548