

DOCKET

11-IEP-1D

DATE MAY 16 2011

RECD. JUL 08 2011

1

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of Staff Workshop)
on Improving Techniques for)Docket No. 11-IEP-1D
Estimating Costs of California)
Generation Resources)

CALIFORNIA ENERGY COMMISSION
FIRST FLOOR, HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

MONDAY, MAY 16, 2011
9:00 A.M.

Reported by:
Kent Odell

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

Staff Present:

Al Alvarado
Joel Klein
Ivin Rhyne, CEC, Electricity Analysis Office

Present: (*Via WebEx)

Kurt Beck, Board of Equalization
*Nate Blair, National Renewable Energy Laboratory (NREL)
Michele Chait, E3 (Energy and Environmental Economics)
Eric Cutter, E3 (Energy and Environmental Economics)
Justin Kubassek, Southern California Edison
Richard McCann, Aspen Environmental Group
*Mike Mendelsohn, National Renewable Energy Laboratory (NREL)
David Miller, Center for Energy Efficiency and
Renewable Technologies
Ken Nelson, Element Markets
Ryan J. Pletka, Black & Veatch
Carl Silsbee, Southern California Edison

INDEX

	PAGE
Introduction	
Al Alvarado, California Energy Commission	5
Challenges to Producing Transparent Cost Estimates for New Power Plants for Electricity Resource Planning Studies	
Ivin Rhyne, California Energy Commission	6
Overview of Different Levelized Cost of Generation Models and Applications:	
California Cost of Generation Model	
Joel Klein, CEC	11
Questions/Comments	28
Black & Veatch Cost of Generation Calculator	
Ryan J. Pletka, Black & Veatch	31
Questions/Comments	50
Market Price Referent Model	
Eric Cutter, Energy & Environmental Economics	54
Questions/Comments	71
Pro Forma Calculator	
Michele Chait, Energy & Environmental Economics	76
Questions/Comments	95
CREST	
Michael Mendelsohn, National Renewable Energy Laboratory	106
Questions/Comments	125

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

INDEX

	PAGE
SAM	
Nate Blair, National Renewable Energy Lab	127
Questions/Comments	142
Options for Comparing Generation Technologies with Different Operating Attributes	
Introduction - Carl Silsbee, Southern California Edison	
Justin Kubassek, Southern California Edison	151
Questions/Comments	160
Panel Discussion on Steps to Advance Cost of Generation Models and Update Characterizations of Different Generation Technologies	174
Questions/Comments	205
Next Steps	
Al Alvarado, CEC	214
Adjournment	216
Certificate of Reporter	217

1 going to have several presenters that are actually going
2 to be giving their overview of their tools remotely,
3 too, later on today. With that, maybe I'll just kick
4 off with Ivan Rhyne.

5 MR. RHYNE: All right, good morning. So, as Al
6 mentioned, my name is Ivan Rhyne. I manage the
7 Electricity Analysis Office here at the Energy
8 Commission. And so, we're trying to have - I'm going to
9 try and kick things off with a little bit of just kind
10 of setting the stage for what it is we intend to discuss
11 and, more importantly, what it is we intend to
12 accomplish here today.

13 We've got quite a few folks in the room who have
14 put in the time and the effort to develop estimates of
15 costs for different purposes and using kind of different
16 sets of assumptions and all of that, and we wanted to
17 get those folks together on one side and we also wanted
18 to have some end users in the room, as well, to have a
19 discussion today about what we should be doing, how best
20 to answer a question. And the question is relatively
21 simple if you pose it this way -- you can put it many
22 many ways -- but when you boil it right down, the
23 question always comes down to, "What is the cost of
24 building a new power plant in California?" And, to
25 channel my inner economist, the answer is, of course,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that "it depends." It depends on a large number of
2 things. It depends on assumptions, it depends on what
3 you intend to use this for, and how you approach the
4 problem in general can give you a completely different
5 estimate of cost.

6 The Energy Commission has done a lot of work in
7 this area in attempts to capture the costs and estimate
8 those costs through one model, which Joel Klein will be
9 presenting here in a little while. But we're not the
10 only ones in this space and we're not the only ones who
11 have had to tackle the issues and the challenges and the
12 problems associated with this kind of modeling.

13 So, to get down to it and really answer this
14 question is exceptionally difficult, and the folks who
15 are in the room here can attest to that, it depends on
16 what sources of cost data you choose. Well, there are
17 variances of costs across time, across regions, and even
18 for the same technologies in different points, and even
19 within the same year there could be cost variances. You
20 can choose different capacity factors, in other words,
21 what choices you make about how this plant will operate
22 over its lifetime can have a dramatic effect on what the
23 overall cost ends up being. How do you capture
24 financing costs? How do you capture the way these
25 things are put forward in terms of, well, if the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 developer uses this much debt, or that much equity, how
2 does that change the outcome? What to do about the
3 inclusion and exclusion of system costs? This is a very
4 important question because we typically have looked at
5 cost modeling as simply trying to capture the cost of
6 putting the resource in the ground, building it up and
7 operating it over a lifetime, exclusive of these system
8 costs, but that's not the only choice we could have
9 made, and there are arguments for why we might want to
10 make a different choice in the future. And we want to
11 have that part of the discussion, as well.

12 And the last part, and certainly not the last,
13 but the last one I want to highlight, is how do we
14 handle cost trends, specifically there is a long running
15 expectation that renewables cost will change over time,
16 they are not a fully mature technology. And so, what is
17 going to happen to, for example, solar costs over the
18 next 10 or 15 years? If I build a solar plant today vs.
19 if I build it five or six years from now, I may be
20 looking at a very different state of technology with
21 regard to what that's going to do. So, the
22 manufacturing technology behind solar may have improved,
23 there is a learning curve, there is a technological
24 learning curve involved, how do you handle that? What
25 assumptions should we make, can we make, about those

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 types of things?

2 So today's workshop is meant to invoke Linus'
3 Law and this is a software paradigm. If you've never
4 heard of it, this is actually in reference to Linus
5 Torvalds who, himself, never said this, but was actually
6 inferred from the way that he works, which is, given
7 enough eyeballs, all bugs are shallow. Well, we're
8 hoping that we have enough eyeballs in the room, enough
9 eyeballs online, and enough eyeballs who are members of
10 the stakeholder community with regard to these cost
11 estimates, that we can identify where there is room for
12 improvement in how we do business and how we can
13 identify best practices going forward.

14 So, today's workshop is meant to be a dialogue
15 on strengths and weaknesses of different approaches.
16 It's not just among developers, but it's also between
17 developers and users, so we all at some point are both
18 producers and consumers of some of these numbers. As
19 some say, it's whether or not you're willing to eat your
20 own dog food, right? It's, if you're going to produce
21 these numbers, what do you do with them? How willing
22 are you to stand behind them, those types of things.

23 And we're going to split this workshop into two
24 halves, so the first half is how did specific models and
25 modeling teams address the challenges of cost modeling

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 in their products? And so that's where we're going to
2 have these experts here at the front of the room come up
3 and give presentations on the choices they made and why
4 they made them behind the development of their specific
5 models. And then, the second half of the day, we're
6 going to draw on their expertise again, but we're going
7 to shift the paradigm just a little bit and we're going
8 to talk a little more broadly. What do these experts
9 believe are the best practices in terms of cost
10 modeling? This is information that's really important
11 to us, going forward. And the reason it's important is
12 because the CEC is going to use the feedback gained from
13 this workshop and the stakeholder input to guide a
14 really fundamental review of our cost modeling approach.

15 And so the questions in the agenda, and there
16 are quite a few, if you don't have an agenda, it's
17 available online or it's available at the front of the
18 room, these questions are meant to be a start of the
19 discussion rather than all inclusive. After each
20 presentation, I would invite anyone who is a
21 stakeholder, either online or if you are in the room, to
22 either raise your hand online or come to the podium, and
23 add to the discussion with regard to your questions,
24 again, keeping in mind how we've kind of tried to split
25 the day up. If you have questions that are specific to

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 clarifying the choices specific modelers made, that
2 would be the time to come up after each individual
3 modeler. If you have questions about or comments about
4 the larger approach, I would ask you to save those for
5 the second half of the day when we hold the roundtable
6 discussion on these issues.

7 So, the written comments are both encouraged and
8 welcomed from model developers and end users, any
9 interested party who has reason to pay attention to this
10 kind of information. And finally, the written comments
11 are due May 31st. There is an email address listed here
12 where you can send it and you'll want to list the docket
13 number, as well, to make sure that it's properly
14 categorized and gets to all the right places internal to
15 our organization. And so that's just meant to kind of
16 set the stage, and we've got a lot of good information
17 that will hopefully fill up the day and make for a
18 productive discussion. A first part of that discussion
19 will be from Mr. Joel Klein, he is the kind of chief
20 architect for the California Energy Commission's cost of
21 generation model, and he's going to kick us off this
22 morning, so, Joel?

23 MR. KLEIN: Okay, good morning. Again, I'm Joel
24 Klein. You may or may not have a copy of my
25 presentation. If it wasn't there when you came in, it's

1 now out there, I understand.

2 We all know that I could spend the day talking
3 about my model, as any of you could, but we don't have
4 that much time, so it's going to be sort of a quick
5 overview and we'll hope it's enough - why don't we - ah,
6 that's better. Okay, first of all, can everyone hear
7 me? Okay. If I start mumbling, please raise your hand
8 and complain.

9 Okay, there are basically two parts to my
10 presentation. First of all, I'll give you an overview
11 of the process, the thing that the model is about, and
12 then I will get into the model itself.

13 The basic reason why we have the model is to
14 produce the biannual Cost of Generation Report. And the
15 reason we have the Cost of Generation Report and the
16 model, both, is to provide a single set of levelized
17 costs and supporting data for studies at the Energy
18 Commission. The goal is everybody is working with the
19 same tools, the same data. Well, we're not quite there
20 yet, but we're working on it. One of the problems, of
21 course, is everything has to be in the right time
22 sequence. Our data has to be available when it's
23 needed. Thirdly, a lot of people, a lot of entities,
24 rely upon our data, or model, our levelized costs, and
25 you see some of them up there.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 Okay, when we went to develop this model, we had
2 certain global objectives, and there they are, sort of
3 like motherhood and apple pie, you know, produce a
4 transparent, easy to use flexible model, great data, and
5 great documentation. Okay, let's get more specific
6 about the design objectives.

7 Okay, our very first objective was to have a
8 large array of technologies in a single model. Before
9 2007, this was about, oh, a dozen or two, probably a
10 couple dozen of individual spreadsheets, and we could
11 see that wasn't going to work, so we wanted to get
12 everything into one module; if you don't have that, it's
13 hard to keep things consistent, underlying assumptions
14 consistent, it's hard even to keep track of what version
15 you're working on. We decided that we would accommodate
16 all three types of developers, and a lot of these models
17 just preoccupy themselves with cash flow accounting, we
18 wanted to also be able to do IOU and POU accounting, so
19 Revenue requirement accounting. We wanted to have
20 multiple years to capture changing costs - Ivan just
21 referenced that. And on the next slide, I'll
22 demonstrate that for you a bit. And we wanted to be
23 able to measure levelized costs at each point of
24 measurement, at the busbar of the plant, the high side
25 of the transformer, and the delivery point downstream

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 where the power is delivered.

2 Okay, now if you look at this curve, you can
3 see, for instance, that there is solar PV just dropping
4 like a rock. If you're just going to look back here at
5 2009, like our report does, it's a very poor
6 representation of how that technology is competing in
7 the oncoming years. So, we see solar PV and solar
8 thermal dropping very rapidly. We see wind coming down
9 pretty well, and geothermal. The rest of them, at least
10 according to our assumptions, are relatively flat. This
11 is a little learning curve, it's a little development
12 there, but not much. And these are in real dollars, so
13 this is the real trend in the costs.

14 Okay, some other design objectives. We wanted
15 to have levelized cost by geographical region, that is,
16 to be able to use fuel cost by utilities, air and water
17 by basin, particularly for the ERCs which, for instance,
18 in South Coast, can be very high. Of course, if anyone
19 knew what those were, that would be nice. But, anyway,
20 that's - still struggling with that. We wanted to have
21 a model that could enter capital costs either as instant
22 costs or installed costs; a lot of these models will
23 take costs as installed costs, but they won't calculate
24 the installed costs if you're starting with the instant
25 costs, and we wanted to have both. We wanted to be able

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 to calculate the GHG adders and their costs, we have
2 that in the model, but we don't have that in the data in
3 the models, so it really hasn't been used yet. The
4 mechanism is there. We have high, mid, and low cost.
5 And I'm going to be coming back to that more than once.
6 There is no average cost. All the time, it asks for
7 this cost, well, there is no average cost, there are a
8 whole bunch of ranges of cost, so to try to fight that
9 delusion, we have a high, mid, and low levelized cost,
10 which means, of course, you have to have high, mid, and
11 low data, cost data, and performance - planned
12 performance characteristics, same thing.

13 Okay, another thing we're concerned with is
14 that, yes, those tax credits are out there, but not
15 everyone can successfully take care of them all, cannot
16 utilize them, so we wanted to have a mechanism to say,
17 "Okay, what would it be if maybe you're not quite so
18 successful in being able to utilize the full tax
19 credit?" Maybe you can't use it all in the first year,
20 for instance. Now, this shows our input selection
21 window in the model. If you look at the plant type
22 selections and you click on here, you have one of those
23 dropdown menus, Eric Cutter developed this for us, and
24 he made the first cut at the model, so he certainly
25 knows what I'm talking about. In this case, we've

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 selected wind, class 5, you choose the type of financial
2 ownership for wind, we have emergent alternatives,
3 again, it's a dropdown window you select. These windows
4 - this window here is sort of the fault of that, just
5 try to ignore that for now. General Assumptions is a
6 bunch of things like State and Federal taxes, and
7 transformer losses, data regarding the tax benefits,
8 it's sort of a hodgepodge of stuff, but nothing I want
9 to dwell on. This just reflects, once you've selected
10 this data, like this Wind Class 5, this tells you that
11 the data is in 2009 dollars, wind is the field type, and
12 the KEMA - this was the source of the data. And we'll
13 get on with that, a little bit about the data, a little
14 later on.

15 Okay, here is where you select the start year
16 and you enter the day it ends, so for this plant, it
17 would be for a plant that was going in service in 2011,
18 this year, gas prices are average, air and water costs
19 are average, that is statewide, that's what we mean, and
20 average, nominal, most common price. The study
21 perspective selected here, this is another dropdown
22 menu, is at the busbar plant site. This shows that the
23 data was entered as instant as opposed to installed
24 costs. This is just something that supplies the
25 combined cycles if you have - like a basic configuration

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 has two CTs; if your particular combined cycle unit has
2 more than two, you can select three, four, five,
3 whatever, and it makes incremental adjustments to the
4 instant cost, it's sort of a convenience because there's
5 a lot of combined cycle calculation going on. For this
6 one, we have no carbon price, no data, no carbon price.
7 The scenario is the mid-range, the middle one, the so-
8 called nominal, average, whatever you want to call it,
9 whatever that is. And loss covered in a single year
10 means that you have the most favorable success with your
11 tax treatment, okay? Everything works fine.

12 Okay, here are some other design criteria. We
13 wanted the ability to create, save, and recall
14 scenarios. We have set scenarios in there, but what if
15 you didn't like our heat rate for a combined cycle unit,
16 and you wanted to put your own in? You can do that, and
17 then you can save it as a scenario, recall it later
18 should you need it, without disturbing the base data
19 that is in the model. We elected to have fuel costs by
20 year, a lot of these models just have initial fuel costs
21 and then an escalator. We think fuel costs can be so
22 erratic, we thought that was too simplistic. We wanted
23 to include plant transformer and transmission losses.
24 We wanted to include capacity and heat rate degradation.
25 We wanted to account for start-up costs. And we also

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 wanted to have a combined cycle heat rate that was the
2 function of the capacity factor. So, when you set the
3 capacity factor in the model, it gives you the heat rate
4 that corresponds to that capacity factor. Now, that's
5 just for the combined cycle unit only.

6 Okay, here are outputs. This may seem like an
7 unnecessary subject, but it was a big challenge for us,
8 part of it, because no matter what format you have to
9 your data, somebody wants something else, so we tried to
10 provide a complete array of formats and we found that
11 there was a lot of work associated with that because we
12 have a lot of technologies in the model. Depending on
13 what year you're looking at, it's anywhere from about 21
14 to 25.

15 Okay, we wanted upfront where people could see
16 it, we wanted levelized and annual costs, we wanted
17 dollars per kilowatt year, dollars per megawatt hour,
18 and cents per kilowatt hour, anything people might ask
19 for. No matter what you give them, they seem to be
20 asking for something else. We wanted to provide the
21 fixed and variable component levelized costs. So, if
22 you want to compare the costs of F&M cost in one model,
23 leveled fixed O&M in one model to another, it would be
24 right there, you could see it. And I often want to do
25 that sort of thing, so that's nice. As I mentioned

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 before, we have mid, high and low input data, and the
2 corresponding levelized cost. Now, amidst all this,
3 something became somewhat of a challenge is, all of a
4 sudden I realized, well, we've got, let's say, 21
5 technologies. If you run those one at a time for all
6 the combinations we want, we've got three types of
7 developers, you've got two years that you're doing,
8 before you know it, you've got 378 separate runs you're
9 making to fill out the sheet, and then you've got to
10 transpose all the data. That turns out to be about
11 12,000 pieces of data to deal with. So we developed a
12 series of macros so we could print our data. And you
13 know how it happens, just as you get to the end of all
14 these calculations, you realize you've done something
15 wrong in the model, and then you start from the
16 beginning. So we definitely thought we needed that
17 macro. Here is what our output looks at in the model,
18 this doesn't show the cents per kilowatt hour, but all
19 the other outputs do. So you can quickly look in our
20 model and see each component, and that's helpful. And
21 this is truncated on the end, but this shows the annual
22 cost. We find this graph is useful because sometimes,
23 if you've done something strange in the model, you see a
24 strange little kink in one of those lines. And not all
25 the developers have such nice smooth lines, all the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 technologies.

2 Here is an example of an output we have. And
3 notice there are 21 technologies. You've got all those
4 components to the data. Now, that's just the dollars
5 per megawatt hour. You've got dollars per kilowatt
6 year, you've got the three developers, you've got two
7 years, so you want to be able to - we found that was
8 essential for us. Whereas a lot of you may be looking
9 at individual technologies and working with clients,
10 let's say, we're trying to provide planning data, so
11 we've got to provide these masses of data. So maybe
12 we're somewhat unique in that regard. And the same
13 thing for the input data. You've got the plant
14 characteristics and the plant cost data. And, again,
15 that's just average, you've got average, you know, high,
16 low. So maybe I've dwelled on that a little bit, but
17 that's a challenge that we face.

18 Okay, another challenge we face is people are
19 constantly trying to misuse the data, as I've alluded to
20 before. The worst thing is this one-size-fits-all, they
21 want this number, "A combined cycle unit costs this
22 much." Well, as I mentioned, don't believe that for a
23 second, so that's why we have the high, low range.

24 As Ivan mentioned earlier, probably the most
25 common error is ignoring the effective capacity factor,

1 so we've provided screening curves in the model and I'll
2 show you how that works. Again, we're trying to
3 sensitize people to the fact that you can't use one
4 number and try to use the right data for the right job.

5 Another point I want to emphasize, and it's a
6 common misunderstanding, is levelized costs are just the
7 costs of building the system, building the unit, they
8 don't tell you anything about how it affects the system,
9 or how the system affects the unit. Electric capacity
10 factor, we mentioned. You build a CC, you assume it's
11 going to run at 75 percent capacity factor, you get in
12 the system, and you find out you're running at a 40
13 percent capacity factor. So that's why we developed
14 that screening sort of mechanism and I'll show you that
15 in a second. Another common confusion is people want to
16 know why some price they see doesn't equal my cost,
17 well, they're not the same thing for a whole bunch of
18 reasons and we could probably spend a half an hour
19 discussing that. But one of the common things is often
20 they have other sources of revenue. Again, their
21 particular cost may be high, low, medium, whatever,
22 there's a whole bunch of reasons.

23 Well, here we've got the costs, here's what
24 we've got, let me expand that a little bit and I'll show
25 you. Now, you want to sort of ignore the two hydro

1 things because the physical configurations of where you
2 develop hydro are so - have such a wide range of
3 physical differences that maybe that's a little
4 misleading. And you can ignore the simple cycle units
5 because they're for specific purpose and, in this case,
6 they show a five percent capacity factor. So they don't
7 really fit in here. So if you look at these costs here,
8 you get to maybe where you get to solar, it depends a
9 lot on what your cost is, you know, if you take this
10 medium cost and you say, "Oh, this one is going to be
11 cheaper than this one," no, your cost may not be that
12 because you've got to consider the high low cost, so you
13 would have to have a handle on your cost. You cannot
14 make the simplistic comparisons.

15 Now, I'll mention, this is a little unfair to
16 solar, I picked 2009 and, I showed you earlier, solar is
17 dropping like a rock. If you went out a few years here,
18 you see that it's much more competitive, and we've all
19 seen bids that suggest that it's much more competitive.
20 We've seen bids in Nevada for \$150.00. Of course, they
21 don't have our cost, but...

22 Okay, here is screening curves that I was
23 talking about, the mechanism. This shows the old one
24 we're familiar with, of an advanced combustion turbine
25 against a combined cycle unit. Notice these cross, an

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 interesting thing, one of the problems we had, if you
2 take an "F" type combustion turbine, they don't cross,
3 and that's been the subject of a lot of consternation
4 for a lot of us. But this is going to be the more
5 common technology that's out there now, and so we can
6 revert back to where we actually see those lines cross.
7 Probably the reason why they don't cross is we don't -
8 if we'd used "F" type turbines, I think you'd see them
9 crossing, like I just said a moment ago, but we use
10 these arrow derivatives, LM 3000's, and they're just a
11 bit more expensive and you don't see that.

12 Oh, here is another thing, we have a sensitivity
13 curve that's in the model. We want to see what drives
14 your levelized costs the most, that shows you. For
15 instance, capacity factor, okay, this one - let me back
16 up - this is combustion turbine 100 megawatts, and as I
17 mentioned, capacity factor drives, and so that is the
18 one that drives it the most. You see installed costs
19 for a percent change, and maybe I should back up a
20 little bit, this shows if you increase the cost 10
21 percent, and you come up here, you see what it does to
22 the levelized cost change. I sort of glossed over that,
23 I don't know if I confused people or not, I apologize if
24 I did. But, anyway, that's the purpose of having this
25 mechanism in the model, so people can start to get the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 feeling for what really affects cost.

2 Okay, let's bomb on to data. We've talked about
3 the model, things we've done in the model. This just
4 shows you the wide range of data that goes into the
5 model, and if you've done any modeling, you've seen all
6 that before. Let me tell you where we got our data. We
7 were hell bent to try to get quality data, so the first
8 time we went around, I was not around, that was the 2003
9 IEPR, but I was part of the 2007 IEPR, and we went out
10 and tried to get the best consultants we could, and for
11 the renewables, nuclear, and IGC coal, that was NCI
12 2007. Later in the 2009 IEPR, that was KEMA. For the
13 gas-fired units, we had Aspen do the work. And that's
14 Richard McCann sitting over there, who ran that show,
15 there were a number of people involved, but he was the
16 Project Manager. In 2007, we got actual survey of the
17 data. We sent out request forms, had them filled out,
18 guaranteed confidentiality on the individual pieces of
19 data, but we think that is some of the best data you
20 could ever hope to get. In 2009, we only had a couple
21 new units, so rather than going through the survey
22 process again, we decided to compare our survey data
23 against everybody else's data that was available, so we
24 went through that comparison. At the same time, we made
25 some adjusted costs for unusual real inflation that we

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 knew was going on at that time. When the 2007 effort
2 was going on, we knew by the end of it that prices were
3 increasing so quickly for gas-fired units that our
4 numbers were probably a little low, but by that time, it
5 was too late to change them. But, for the 2009, we
6 tried to capture that. So that's the main two things
7 that happened there. So at that time, we looked at
8 individual data, we looked at every bit of data we could
9 find, we agonized ad infinitum. I tend to think this
10 data is pretty good. I've had other opportunities to
11 confirm that it's pretty good.

12 Okay, the financial variables were done by Aspen
13 using BOE data, and E3 is going to speak to that subject
14 this morning, right, Michele? Okay, and that will be a
15 topic today, the first of the day to deal with, see if
16 we can make some headway.

17 Okay, another big challenge is tax benefits in
18 the model. For us, they're all Federal. There were no
19 data at that time, since then, that we understand is
20 just State tax benefit, and I'll get to that in a
21 second. Okay, accelerated depreciation, that's
22 something that's been around for a while. Most all
23 these things are on accelerated depreciation for five
24 years, and it makes a big impact on the cost, that is
25 all the renewables. There is a TDMA, a Tax Deduction

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 for Manufacturing Activities, most of the models I'm
2 looking at don't seem to be dealing with this, and I'm
3 not sure whether it's because it's very small, or
4 they've overlooked it, or what. That's something we
5 might want to mention to come up with, we might discuss
6 today. Is the property tax exemption for solar systems?
7 I think everyone is aware of that and that's in all the
8 models. There's a geothermal depletion allowance.
9 There is a renewable electricity Production Tax Credit,
10 PTCs, a short acronym for that, and Business Energy
11 Investment Tax Credit, ITC, and then there's the ARRA,
12 American Recovery and Reinvestment Act. GDA, I think,
13 applied to everything but solar - no, excuse me - PTC
14 applied to everything but solar, and ITC just applied to
15 solar, biomass, and what was it, Richard? Do you
16 remember? Okay. But, anyway, along came ARRA, and this
17 is something that we've captured I'm not seeing it in
18 the other models yet, is ARRA backs up anyone who had
19 PTC to allow them to have ITC, so if you look on our
20 model, all the renewables have ITC. And furthermore, it
21 allows them to expense everything the first year, one
22 year, so if you look in our model you'll see that we
23 have all those tax credits coming right in the first
24 year, except for the case where we assume, as I
25 mentioned before, we assume that life did not go so well

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 for these things in the high cost case, where it just
2 didn't work out, you couldn't realize them for one
3 reason or another.

4 Okay, I will just mention up front, there are
5 two -- Richard McCann was pointing this out to me --
6 there are two new tax benefits that came available since
7 we've done our models, so they're not in the model.
8 There's a sales tax exemption and there's 2010
9 legislation for 100 percent depreciation, so those
10 aren't in our model, but if there's something, I guess
11 it will be the next go-round.

12 Okay, finally, documentation. I look at so many
13 models where I can't tell where they got the data or
14 anything, so we decided, within our model, we were going
15 to try and have really good data, so what we did is, in
16 Excel comments, most commonly it's in the Excel
17 comments, you'll see where we got the data or if there
18 is subtle computational things, there are references in
19 the data. So we tried to track everything we did that's
20 within the model. Also, there are some instructional
21 material in the model, there is an instruction sheet and
22 whatnot, we tried to help people use the model. But
23 there's a User Guide, and the User Guide describes the
24 model, worksheet by worksheet, delineates, explains the
25 subtle algorithms, how we did them. It has a chapter on

1 instructions and how to use the model. And the model is
2 pretty intuitive, but for those that have any
3 reservations, it's there. And I have an Appendix of
4 Definition, I have 23 pages of definitions because I
5 think that's part of the struggle here is to see some
6 acronym or some definitional thing and try to wonder
7 what it is. If any of you look to the User's Guides and
8 you see a little flaw or something you can help us to
9 fix, we would appreciate that feedback, too. But,
10 anyway, that's a brief overview, and if people were
11 raising their hands and I didn't see it, I apologize,
12 but do you have any questions at this time?

13 MR. RHYNE: Okay, so thank you, Joel. So at
14 this point, I'm going to invite folks who are in the
15 room who have questions, either from the panel, or in
16 the audience, to one at a time share your questions and,
17 Joel, if you want to go ahead and try to field those.

18 MR. KLEIN: Well, there's one or two
19 possibilities. I don't like to think about one of them.
20 Yes, sir.

21 MR. RHYNE: So, Joel, one of the questions that
22 I wanted to make sure got addressed specifically, what
23 uses would you recommend not using this cost of
24 generation model for? What would you specifically steer
25 end users away from using it? When would you do that?

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 MR. KLEIN: Well, one of the things to be
2 careful about is it is based on California data. Now,
3 you can override the data, and you can fix that problem.
4 Another danger, as I previously mentioned, is looking in
5 there and running that generic case and thinking you had
6 the answer. Again, you can get in there and change the
7 data and you can make this model, I think, work about as
8 well as any model, and maybe we'll decide there is a
9 little something there that can be made a little better,
10 but it's designed to accommodate that. Okay? Edison, I
11 think.

12 MR. SILSBEE: It's Carl Silsbee from Edison.
13 Just a process question that maybe you or one of your
14 colleagues can -

15 MR. KLEIN: I don't think your microphone is on,
16 is it?

17 MR. SILSBEE: Okay, let's try again. Is it on
18 now?

19 MR. RHYNE: Yeah.

20 MR. SILSBEE: Okay, thank you. Carl Silsbee
21 from Edison. It's a process question for you, Joel, or
22 perhaps one of your colleagues. I'm assuming that the
23 CEC is going to update the cost of generation model in
24 this IEPR cycle, so there will be a 2011 cost of
25 generation report, as well?

1 MR. KLEIN: Not quite. Ivan, you seem like you
2 want to answer that.

3 MR. RHYNE: Yeah, so to answer your question --
4 this is Ivan Rhyne -- to answer your question, we're not
5 planning on updating as part of the 2011 IEPR. We
6 intend to use the 2011 IEPR process to conduct this kind
7 of review and get this feedback, and we're really
8 considering moving this to a-IEPR year update schedule
9 so that the updates would then kind of feed a little
10 more naturally into the types of questions and policy
11 issues that were raised during IEPR. So, for example,
12 there are no decisions made yet, but for example if it
13 were to work that way, we would do the update in 2012
14 and then those cost estimates would be available for use
15 in our Policy Reports in 2013.

16 MR. KLEIN: Was that it? Is that everything,
17 Carl? Okay. Anybody else?

18 MR. RHYNE: Was there anybody online who had
19 questions?

20 MR. KLEIN: No questions online.

21 MR. RHYNE: Okay.

22 MR. KLEIN: It was either perfect, or I left
23 them in oblivion someplace.

24 MR. RHYNE: Okay, so thank you very much, Joel.

25 MR. KLEIN: Should I introduce the next person

1 after me?

2 MR. RHYNE: If you would, please.

3 MR. KLEIN: Okay. Next up is Ryan Pletka from
4 Black and Veatch. We used their model in - they did
5 some work for us in RETI and Ryan will talk about that
6 in just a second, and he had the most trim model I've
7 ever seen, it's all on one sheet of paper, he actually
8 printed it out in one sheet of paper. If you've seen
9 mine, it goes on and on and on and on, so, with that,
10 I'll let Ryan take over.

11 MR. PLETKA: Thanks, Joel. Good morning,
12 everybody. Again, my name is Ryan Pletka with Black &
13 Veatch down in San Francisco. I appreciate the
14 opportunity to be here this morning and speak with you
15 about what I think is an interesting topic, we certainly
16 - I don't know if we debate it quite as much as it
17 sounds like it is debated here, but I think, just to set
18 the stage, one of the very nice things in terms of
19 developing this cost of generation for RETI, which is
20 the Renewable Energy Transmission Initiative, is we have
21 a very focused, clear application in mind, and a clear
22 set of end users which was, in fact, just an internal
23 model at the time, so whereas I think Joel's model has
24 to be all things to all people, to a certain extent,
25 ours didn't. We were able to just kind of trim things

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 down and focus on what we thought was essential for the
2 issue we had, or the problem we were trying to solve.

3 I'm going to give a little bit of overview of
4 the kind of activities we do within the Energy Economics
5 Field at B&V, just to give you a sense for where this
6 model fits within the realm of other things. The model
7 does have some nice things, and there is also a lot of,
8 I don't know, just warnings, I guess, in terms of its
9 use. So I'm going to then talk about, in particular,
10 the history of it, its features, pros and cons, and how
11 it might be used. And then there's something that we
12 provide called GenCost, which might be of interest to
13 people here, it's actually a twice a year update on cost
14 of generation as a subscription service, it's a little
15 bit of an advertisement, I guess.

16 So, the kind of things that we do in energy
17 economics where the cost of generation model fits in, at
18 least in the kind of broad high level studies that we've
19 done such as Renewable Energy Transmission Initiative,
20 or RETI, Western Renewable Energy Zones, which are
21 called WREZ, and other things like that, that might look
22 at, you know, State level or western-wide types of
23 competing, if you will, energy resource options. We
24 also do kind of three other broad categories of economic
25 assessments. We do a lot of market modeling, which

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 includes gas price forecasts, electricity price
2 forecasts, locational marginal pricing type runs.
3 Another thing we do which feeds into cost of generation
4 is cost estimates for new generation technologies.
5 These can be done at the feasibility level, but also, my
6 company builds a lot of power plants, we build lots of
7 combined cycles, we build coal plants, build solar
8 projects, everything. So we do those cost estimates for
9 those projects as part of our EPC or Engineer Procure
10 Construct Activity. And then, finally, another thing
11 that we do is a lot of financial due diligence, so
12 reviewing cost models, pro formas put together for
13 actual project finance, and mergers and acquisitions of
14 companies and the like. And so, I mention that because
15 I think it's useful to kind of think about the
16 granularity of the RETI cost of generation model vs.
17 what we might do in a project due diligence.

18 And this was for a biomass project I worked on a
19 couple years ago where there actually were 100 fuel
20 contracts and the price of those different contracts
21 might have been indexed to up to three different things,
22 including diesel prices for transportation, labor cost,
23 producer price index, and then, in some cases, those
24 were broken down into monthly accounting. So, if you
25 just look at that, you've got a huge amount of inputs

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 just on fuel price, and that's one component. So these
2 models can be pretty large, you know, multi-megabyte
3 models, if you ever printed them out, I don't know that
4 people do, but it could be hundreds of pages. Contrast
5 that with the RETI cost of generation model where we
6 have one of these ultra-simple fuel cost, \$10.00 a
7 million Btu and it escalates at 2.5 percent forever.
8 So, the RETI model is really simple when it comes to
9 these types of inputs.

10 Okay, so if people aren't familiar with RETI, I
11 think it's useful to understand what it is, or what it
12 was, and kind of the framework that we were working with
13 when we developed a cost model for that. So, RETI was a
14 statewide process, the whole intent of which was to
15 identify kind of what are the next big transmission
16 upgrades that might be needed, how do we evaluate and
17 prioritize those? At the time RETI started, I think in
18 2008, maybe 2007, you know, we had the law for 20
19 percent renewables by 2010 and a 33 percent goal by
20 2020, and everybody was kind of trending towards we need
21 more transmission to solve our way out of this problem,
22 it's the only way we're going to be able to get to 33
23 percent, and our traditional framework for identifying
24 and promoting those transmission facilities was not
25 working, so RETI was established as sort of a - well,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 not sort of, but very much - a stakeholder collaborative
2 process to think through those challenging issues. It
3 was, you know, I think it brought together a great group
4 of people led by the people here at the Energy
5 Commission, Public Utilities Commission, and others, and
6 the stakeholder ranged from everybody from the Sierra
7 Club up to generation developers to utilities, the
8 military, and the like. So, lots of different
9 interests, lots of different levels of sophistication,
10 if you will, as it comes to, you know, their backgrounds
11 in energy economics. Here, on the Energy Commission's
12 webpage at /RETI, there's all kinds of documentation,
13 it's overwhelming, really.

14 So, RETI, just so you know, is currently - I
15 guess the best way to say it is maybe on hiatus while
16 other planning efforts in California go forward, but
17 this cost of generation model lives on.

18 Prior to developing a cost of generation model
19 for RETI, within B&V we had - we still do have - quite a
20 few different types of cost of generation models, so
21 when we were thinking about how we were going to
22 evaluate the economics of these different resources, we
23 thought about using some of those, but really kind of
24 scrapped them all and came up with something fresh. And
25 one of the things that we really needed to do was try to

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 focus on what are the major factors amongst the
2 different renewable technologies that differentiate them
3 when it comes to the economics, and we had to have a
4 model that kind of reflected the - I don't want to say,
5 like, there's not one way to model anything, or one
6 correct way, but the most predominant, most recognized
7 sort of project structures, and so what that really
8 meant was that we based it on kind of an IPP, a
9 developer kind of merchant generator view of the world,
10 since that's what most of the generation was looking at.
11 So that translated into a pro forma kind of cash flow
12 accounting approach, the calculation.

13 So back in 2008, we developed the first RETI
14 cost of generation model and we put it out there for all
15 the stakeholders to review and provide comments on. It
16 was adequate, it was sufficient for the intended use at
17 the time. So that was used for Phase 1A and 1B of RETI.
18 It was then adapted for the Western Renewable Energy
19 Zones Project, which essentially was like RETI, except
20 it looked at the rest of the west, that process is still
21 going on. So there was another round of stakeholder
22 review for that. And then, finally, in 2009-2010, at
23 this point, the ARRA Stimulus Package had passed and we
24 needed to update that cost of generation model to take
25 into account some of those new benefits, added some

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 things that we thought were critically missing before
2 like degradation and reflect new changes in the cost of
3 the inputs for capital cost. So, right now, it hasn't
4 been changed, at least since it's public form, it is out
5 there still on the RETI website.

6 One thing I wanted to point out that is a key
7 point, I guess, that should be a take home for everybody
8 is that - and I think this was made by the other
9 presenters, as well, is that the cost of generation is
10 really in and of itself not the one way that you should
11 look at the economics of resources. There are many
12 other things besides cost that need to be taken into
13 account. So, in RETI, we distilled that down to five
14 things and we developed an algorithm, it's pretty
15 simple, just to rank resources against each other. So
16 we have a simple equation, we call this Rank Cost, and
17 it's equal to the cost minus the value. The cost
18 includes generation cost, or the cost of generation,
19 transmission costs, and a little adder for integration
20 costs, and then on the value side, we calculated energy
21 value and capacity value. So, the cost of generation
22 model I'm talking about today really only focuses on
23 this generation cost term, but just bear in mind that,
24 within the RETI framework, and also within the Western
25 Renewable Energy Zones Project, there's sort of a larger

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 equation, that this is one component of.

2 So, a brief overview, again, it's a simple pro
3 form cash model used to determine cost of generation.
4 It is based on Microsoft Excel, as I'm sure every model
5 practically is. And we were essentially trying to make
6 a model that would allow different projects to be
7 compared on a relative basis, really, the output of this
8 model is just the levelized cost of energy. I mean, you
9 could use - you could derive something from the other
10 things that are on the Excel spreadsheet, but the single
11 output we're interested in for the purpose of this is
12 just levelized cost in energy, and it does include
13 incentives and I'll talk a little bit more about that in
14 just a minute.

15 So, some of the key features of the model is
16 that it's simple, it's simple, and it's simple, and
17 that's about it! But let me talk about why it's so
18 simple. Because we had, you know, everybody from the
19 Sierra Club and the Military looking at this model, we
20 needed to really have a model that people could look at
21 and hone in on the major kind of cost drivers, the
22 levers, if you will, to sort of favor one thing over the
23 other, and it had to be applicable to all different
24 types of technologies. We don't have different models
25 for different technologies of one common model, you just

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 plug in different inputs. And we also needed to model
2 projects in Mexico, Canada, and the U.S., so instead of
3 making a structure for each of those, we tried to make
4 our inputs as flexible as possible to accommodate those
5 kinds of things. Then, the last kind of three elements
6 that are on the slide here that, within RETI and Western
7 REZ, there's a lot of different projects that we're
8 modeling, RETI has like, I think, 1,200 or so, and we
9 have a lot of different scenarios that we model, as
10 well. So, we needed to have a limited number of
11 arguments. We developed a way to make it a non-
12 iterative model, it's a linear model, so we're able to
13 solve without using a solver, which if you've ever used
14 that, it can make things a lot more difficult, and it
15 had to be a very quick model.

16 This little chart down here just shows a little
17 snippet of some of the RETI work. And each of these
18 cells here is one cost of generation calculation, and
19 we've got different incentive kind of frameworks, IPP
20 developer with investment tax credit, production tax
21 credit, prior to Mexico, Canada, so when you have seven
22 different scenarios, or six different scenarios, plus
23 1,200 projects that results in thousands of
24 calculations, and this model runs over and over again in
25 different broader context scenarios. So, really, it's

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 able to churn through all this stuff really quickly
2 because it's so simple.

3 Here is just a little screen shot of the model.
4 I don't expect you to be able to actually read any of
5 this stuff, of this resolution, but as was mentioned in
6 a very straightforward one-page type model, and just to
7 look at what some of the inputs are, there are about 30
8 inputs to this, you know, basic stuff like what's the
9 capital cost for the project, fixed O&M, variable O&M,
10 and you're allowed to escalate those things at whatever
11 rate you deem appropriate. And then there are some
12 capacity factor and heat rate. We certainly don't have
13 all the complexity that is in the CEC's cost of
14 generation model, it's a much more simple model and, by
15 the way, part of the reason for that was that we're just
16 modeling - it was just intended to model renewables, not
17 necessarily natural gas projects. So that was one
18 reason why. And then, a variety of different financial
19 inputs, as well, you know, your debt to equity ratio,
20 debt term, different types of accelerated depreciation,
21 and then, in terms of incentives, it can model
22 production tax credit and investment tax credit, and you
23 could also model the grant, essentially very similar to
24 the investment tax credit. So that's it for the inputs,
25 really pretty straightforward, and many of those, like

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 the financial assumptions, would be common for a lot of
2 different types of applications.

3 So then there's a very simple cash flow
4 statement below the model inputs that, you know,
5 calculates the revenue, the operating expenses, applies
6 debt service, and then calculates taxes, and then from
7 that you get an after-tax cash flow that's used to
8 calculate the Internal Rate of Return for balancing the
9 model. There's sort of a trick that's in this model
10 that we use to avoid the iterative calculation that a
11 lot of times you get when you're trying to solve for
12 IRR, and because the model is so simple, it allows it to
13 - essentially there is a linear relationship between the
14 first year of cost of energy and the net present value,
15 and the only reason I'm bringing this up is because the
16 most common question we get on this model is people
17 don't understand, there's a little part of it that's got
18 the use of the table function, which I think is used
19 very rarely by a lot of modelers, but it essentially
20 allows you to do kind of what if, or scenario analysis,
21 with the model. And what we use is we use that to make
22 two runs of the model to generate two data points and
23 from which you can calculate an equation for a line, and
24 that line is then used to tell you what your first year
25 cost of energy needs to be in order to get to a net

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 present value of zero. So, based on that, we're able to
2 solve without having to do any iteration, which really
3 helps speed the calculation and makes things a lot more
4 robust in terms of not crashing, for example.

5 Okay, so kind of in summary, in terms of the
6 pros, the model is simple, it's not iterative, it's
7 fast, it's been through a few rounds of stakeholder
8 review now at this process, and it's certainly not the
9 most accurate model in the world, but somewhat accepted,
10 at least for these purposes. And it's generalized so
11 long as you can put things within the framework of a
12 capital cost, the capacity factor, and O&M cost, you can
13 model just about anything you want. And, you know, I
14 think it's a good model for screening and to have
15 relative comparison of different project options. That
16 said, you know, we really designed this model just for
17 our use at Black & Veatch, and so the nice thing about
18 these other models that are out there is they are meant
19 for other people to use them, and that wasn't really the
20 case with our model. Now, it has been used by other
21 people, and so we do get a lot of questions on, well,
22 what about this, what about that, and you know, that was
23 never our intent, so we've never really documented the
24 model. This is probably the most it's ever been
25 discussed in a public forum, so -- besides the RETI work

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 groups and things like that that reviewed it. There are
2 so few input assumptions that, you know, people are
3 looking, where do I put in property taxes? Where do I
4 put in my state tax rate? Where do I put in this and
5 that? And there's not input assumptions for that.
6 You've got to essentially combine everything and force
7 fit it into the line items that are there; for example,
8 you know, Emission Reduction Credits or those types of
9 things, those need to either go into the capital cost or
10 the O&M cost, depending on if you're talking about
11 upfront or ongoing cost.

12 Also, it's a real simple approach to timing
13 issues, there's no actual years anywhere in the model,
14 like this is a 2010-2011, none of that is taken into
15 account. And there's no real provision to have capital
16 cost declines over time because, within RETI and REZ,
17 that was sort of within the framework of those two
18 projects, it was determined that we weren't going to
19 assume any kind of capital cost declines, so we didn't
20 build it into the model. And definitely, this is not
21 the type of model you would use for project finance, at
22 least I hope not.

23 So, I'll give you a feel for some different
24 types of example applications that RETI has been used
25 for, these are from RETI and some other similar type

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 projects. And I think a real good benefit is, because
2 it is so simple and so straightforward, you can run it
3 lots and lots of times and look at lots of different
4 scenarios. So, one of the things, and this is kind of
5 interesting on the historical side, is that when we
6 looked at the cost of generation for different renewable
7 technologies in RETI Phase 1, that's what this chart is
8 supposed to show, so this is levelized cost a generation
9 going from zero to about \$300 a megawatt hour. These
10 are the different renewable technologies, biomass, wind,
11 geothermal, PV, thin-film tracking, and then solar
12 thermal -- 2008 seems like a really long time ago now in
13 terms of generation costs. So, this is just the range
14 of costs for technologies at that time that we had in
15 RETI. This was before the latest round of new
16 incentives and subsidies. And one of the big reasons
17 that all this information was updated for Phase 2 of
18 RETI was that there was a big change in some of these
19 cost ranges. So the darker green bars represent the
20 estimated cost of generation that was used in Phase 2 of
21 RETI, and also pretty similar for the REZ project. So
22 you can see here in light green was a PV cost, there is
23 a dramatic drop that is reflected in the modeling of
24 about \$100 a megawatt hour and, also, similarly for
25 thin-film, it was really only a sensitivity study back

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 in 2008 because technology wasn't deemed to be fully
2 commercial, whereas in 2010 it was. And then there was
3 some other shifting in the other technologies.
4 Generally, there was a lot of benefit from the
5 Investment Tax Credit being available to all the
6 technologies, which was realized in these darker green
7 lower costs for biomass, wind, and geothermal, as well.
8 So that's one type of thing, this kind of very
9 characteristic floating bar chart for economics.

10 Another thing that it has been used a lot for is
11 to develop supply curves, different resource options.
12 So, in this chart along the bottom axis, it's generation
13 potential, this is in Terawatt hours per year. And the
14 different colors represent different renewable
15 resources, the kind of reddish being geothermal, yellow,
16 solar, wind, and purple, green is biomass, and blue is
17 hydro. And these are stacked up from left to right in
18 order of increasing cost. And this is again kind of a
19 rank cost metric, this is adjusted delivered cost of
20 energy with a value component in it. And this is
21 actually from a current kind of task force with helping
22 out within San Francisco, looking to see if the City can
23 get to 100 percent of its energy supply and release
24 electricity from renewable resources. So, in the case
25 of San Francisco, the dash line represents the total

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 demand in 2020 in San Francisco and theoretically
2 everything to the left of that dash line on that supply
3 curve would be the most economic resources. Again, a
4 good thing to point out, I think, that Joel pointed out,
5 is this is a cost model, not a price model, so it
6 doesn't mean you're necessarily going to be able to get
7 these things for those costs, but it allows you to sort
8 of prioritize. And so the cost of generation model,
9 what it does, is each of these points, or each of these
10 bars on this is one run of that cost of generation
11 model. This is a similar curve, this is from the RETI
12 work from the Phase 2B, again, another supply curve,
13 similar type comparison generation on the bottom axis,
14 and a weighted average, ranked cost, and I don't
15 necessarily expect you to be able to read these things,
16 but these are the Zones that were identified in the RETI
17 Phase 2B, or, actually, RETI Phase 1 process. And the
18 average cost of generation from the average rank cost
19 from each of those Zones. So, way over here on the left
20 of the lowest cost resources are the Solano Wind
21 Resources in Palm Springs, and the most expensive
22 resources are British Columbia - it doesn't matter what
23 it is, but it's the most expensive, it's hydro, wind,
24 and geothermal and biomass. The dark green line
25 represents the average and then, on each of these, there

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 is an uncertainty band which represents the expected
2 variation in the resources available from those Zones,
3 based on what we feel is the kind of uncertainty related
4 to key model inputs associated with capital cost
5 capacity factor, etc.

6 And then one of the other kind of things we do,
7 because the model is so quick to run, it makes a good
8 model used for Monte Carlo type simulations where you're
9 looking at lots of different types of scenarios, and in
10 this case, we were doing some studies on the cost of
11 capital and how that affects PV system cost of
12 generation. So, each of the little points, again, is a
13 little run of this model and we don't need to talk about
14 what the chart really shows, but it allows you to run
15 thousands and thousands of different cases, really, in a
16 matter of a few seconds, so it is good for that kind of
17 thing.

18 Okay, the last thing I want to talk about is
19 something that might be of interest to somebody, is this
20 thing we have called Gen Costs. And you know, it kind
21 of strikes me as odd that this is something, you know,
22 cost of generation from different resources is something
23 that should be much more easy to access and to find
24 reputable sources and to go to like the EIA and hope
25 that they might have something, but, you know, you could

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 look at the EIA, you could look at NREL, you could look
2 at five different Federal Government sources and get
3 five different answers for costs of generation. And
4 also, the timing of this stuff, even something from last
5 year at this point is a little bit questionable for what
6 power costs.

7 We have something called the *Energy Market*
8 *Perspective*, which is a market modeling forecasting type
9 product and, within that, there's a set of inputs that
10 we need to develop every six months anyways for capital
11 costs, operating costs, and everything else, that goes
12 into the cost of generation. So, we have these inputs
13 available and we're making these available now as a
14 separately sort of published part of this *Energy Market*
15 *Perspective* and, because it's every six months, it's
16 going to have a real fresh nature to it, we think, and
17 sort of capture the dynamic of changing costs and PV or
18 natural gas price forecasts, things that really have
19 sort of quick changes in those characteristics. So,
20 this is some of the assumptions from the last go-round
21 of this product offering, so we got a lot of different
22 generation technologies. We're looking at biomass,
23 coal, nuclear, I guess all the usual suspects, and then,
24 you know, range and capacity factors, a range of capital
25 cost estimates, and that of course gives you a range of

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 cost to generation. So, just some different values from
2 that table and, then, that you can then graph and make
3 again one of these floating bar charts. So here's just
4 a comparison of kind of our view, or at least our view
5 as of 2010, of what the comparative economics are for
6 the different generating options, you know, wind down
7 from \$50, from the low end, up to \$100 a megawatt hour,
8 and in comparison, gas combined cycle around \$100 a
9 megawatt hour. So, obviously, there are a lot more
10 assumptions that go into this that I'm not going to get
11 into right at the moment, but just the ideas that we'll
12 be publishing this stuff on an every six-month basis,
13 the next round will probably come out this summer. And
14 we're also, of course, tracking this over time and to
15 see how things change over time. Yeah.

16 MR. KLEIN: What dollars are those?

17 MR. PLETKA: 2010 dollars.

18 MR. KLEIN: Thank you.

19 MR. PLETKA: Thank you.

20 MR. KLEIN: That was Joel Klein.

21 MR. PLETKA: So with that, that's all I had for
22 prepared remarks.

23 MR. RHYNE: So thank you very much, Ryan. I've
24 got a couple of questions, but first I want to open it
25 to the audience. Any questions for Ryan? No? Okay.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 MR. KLEIN: I've got one question. When you
2 were doing the RETI work - this is Joel Klein - when you
3 were doing the RETI work, did you run production cost
4 modeling? I couldn't quite capture that. I mean, how
5 did you - you actually were doing some production cost
6 runs?

7 MR. PLETKA: Not as part of the - yes and no.
8 So, in order to do the valuation, the energy value and
9 capacity value, there was a production cost model run to
10 get like a 20-year forecast of what the value of energy
11 is in California, and that was based on, I think, the
12 2007 scenarios project, or something like that that some
13 colleagues of mine did for CEC. I'm not sure exactly of
14 the year, but RETI didn't then do any kind of simulation
15 of a build-out of renewables in transmission with its
16 own production cost model.

17 MR. KLEIN: Okay, I'll add one comment regarding
18 your table function.

19 MR. PLETKA: Uh huh.

20 MR. KLEIN: After I got through criticizing and
21 talking about how I didn't like it, we ultimately
22 decided to use at least a perturbation of that, so thank
23 you.

24 MR. RHYNE: Good. Al.

25 MR. ALVARADO: This is Al Alvarado. Ryan,

1 thanks for joining us today. You presented a slide
2 where you showed your updated capital costs and I was
3 wondering if you could talk about the source of your
4 information for updating some of those generation cost
5 estimates.

6 MR. PLETKA: Yeah. I guess there are kind of
7 three general sources. The first is kind of internal,
8 Black and Veatch numbers, and by that I mean - we do
9 build power projects, so we put in a bid for a solar PV
10 project a month ago, and we of course knew what we
11 proposed to build that project for, so you know, it's a
12 sort of primary data source like that. Then, we also
13 are cognizant of what's going on in the market, and
14 Black & Veatch also, you know, although we build things,
15 we're not the cheapest company around, so a lot of
16 people build things cheaper than us, so we look at what
17 else is going on in the market that is in the
18 literature, a lot of great reports out there, you know,
19 data from the CSI for PV projects and things like that,
20 so just a general sense of the market. And then, the
21 third source is we do a lot of project work and a lot of
22 our project finance activities, we're privy, I guess, to
23 sort of actual costs for actual projects that are being
24 built or being financed by other people, so we kind of
25 smush all those things together, for lack of a better

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 word, to come up with these sort of ranges. And then,
2 within the company, we have designated experts in each
3 of the technology areas, and that's what they do all day
4 long, is focus on these technologies, so every six
5 months we come back and ping them and say, you know,
6 this is what we said last time, is there reason to move
7 things around a bit? And you know, they don't
8 necessarily go through an exhaustive process every time,
9 it's sort of their expert opinion based on kind of a
10 merging of those three things.

11 MR. RHYNE: Good. So, Ryan, you said a couple
12 of times something that really caught my attention, and
13 I was wondering if I would be characterizing it
14 correctly to say that - you mention that the cost of the
15 generation model produced by Black & Veatch for RETI
16 wasn't really focused on producing accurate values per
17 se, in other words, exact simulations of what the costs
18 are for projects, but rather seemed to be focused on
19 getting accurate cost differentials and getting an
20 accurate kind of rank using that rank methodology you
21 were talking about in terms of it's the relative costs
22 that you were trying to get accurate, as well as the
23 ranked cost with regard to its value in terms of energy
24 and capacity. Would that be an accurate way to describe
25 that?

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 MR. PLETKA: Yeah, I think that was definitely
2 the focus. I wouldn't say that the numbers are not
3 accurate, I just - we did a lot of things to sort of
4 simplify stakeholder consensus, I guess, is the best way
5 to put it. For example, we didn't bother
6 differentiating rate of return expectations for a solar
7 PV project vs. a biomass project, or you know, even
8 economic life. They're all the same. So, we wanted to
9 - in some cases, those things I knew as a modeler
10 weren't necessarily the best way to model it, but it was
11 the easiest way to get people on board.

12 MR. RHYNE: Okay, thank you. Any other
13 questions?

14 MR. KLEIN: Ryan, those are all installed costs,
15 I presume?

16 MR. PLETKA: Yes.

17 MR. KLEIN: 2010 dollars, okay, thank you.

18 MR. PLETKA: Yes.

19 MR. RHYNE: And do we have any questions online?
20 All right, with no questions online, and if there are no
21 other questions in the room, thank you very much, Ryan,
22 for sharing.

23 MR. PLETKA: Thanks.

24 MR. RHYNE: All right, our next speaker is going
25 to be Eric Cutter from E3, talking about the Market

1 Price Referent Model.

2 MR. CUTTER: So I'm going to start very much
3 where Ryan just left off with that comment of not
4 necessarily the best way to model, but the way you can
5 get everyone in the room to agree on; that is what the
6 MPR Model is.

7 So, I work at E3. Where we fit in to this kind
8 of range of consulting services, we'll often partner
9 with an Aspen or a Black & Veatch who have more of the
10 technical knowledge. Our role is usually to try and
11 take that and translate it into policy recommendations,
12 and so we did that working with Black and Veatch on the
13 greenhouse gas cost model, on long term procurement
14 planning, and this MPR process, our role was supporting
15 the CPUC in advising on the model and, again,
16 translating all the input and the technical information
17 into a policy recommendation.

18 So, the MPR to me is a story somewhat like the
19 Graduate. We have a very promising young boy who comes
20 out of a very excited RPS legislation, we are planning a
21 big bright future, he gets all sorts of advice from
22 different well-meaning individuals who all have
23 different ideas about what he should do with his
24 promising career, and he ends up by the end so confused
25 and flustered that he doesn't fulfill the promise that

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 we saw in the beginning. So, the birth of the MPR,
2 we're all very excited in 2008 or so, or 2005, we're
3 going way back, we're going to implement 20 percent RPS,
4 and then, in a very idealized scenario, what we want to
5 do, or what the Legislature wants to do, is separate the
6 costs of procuring renewables to that which we can
7 attribute as a sort of market-based, what the utility
8 would otherwise be buying vs. what's an above-market
9 cost.

10 Just to give some background on the MPR, I don't
11 want to go into all the details, but one thing through
12 all the years it was often confused about the MPR
13 because it was part of an RPS statute is it was only
14 ever meant to represent the cost of brown power, so that
15 was then applied to the different renewables and in that
16 context, its purpose got a little mixed up. But we're
17 looking very much at a specific purpose, one plant that
18 is designed to represent what the market value of energy
19 and capacity is in California.

20 So this model is designed to do a lot of things
21 and, as I'll talk about later, it can't do all of them
22 well, but its purpose is to be a very blunt policy
23 instrument and try and divide that cost of traditional
24 fossil power and help use that to determine the
25 economics and the relative merits of the renewable

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 contracts that were being bid in to each utility's RFO.
2 But fundamentally, even though it can often get
3 interpreted in this way, it in no way represents an
4 estimation of what the utility's avoided cost is, so
5 it's nothing like a qualifying facility short run avoid
6 cost calculation, and it's nothing like a long term
7 procurement planning expectation of what a utility might
8 pay for procuring energy and capacity on the market.

9 So one of the main points is we're thinking
10 about issues in developing costs of generation models,
11 and this came in to play in the MPR process, is how you
12 define the contract that the plant is operating under is
13 very fundamental to both the financing risk of what you
14 assume about the financing cost, and the rate of return
15 that is needed or implied, and as we'll talk about, the
16 capacity factor, how is this plant being dispatched?

17 So the MPR model, Joel alluded to in the
18 beginning, is a cash flow model and this is just a
19 summary screen shot, but it's all driven towards that
20 bottom line there where we want the cash flow that is
21 returning to shareholders to equal our target rate of
22 return for equity, which in this case is 11.98 percent.
23 So that little check at the bottom is how we know we've
24 done the calculation right if we're giving the investors
25 the right rate of return.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 I don't want to talk about the gas in great
2 detail, but it is the driver for fossil in the MPR, it's
3 about 60 percent of the cost. This is one area where
4 the MPR gets often misused because the MPR is designed
5 to represent a long term fixed price for fossil, one
6 problem is that it doesn't exist in California, so we
7 have to make up some assumptions to get there. But it
8 assumes that the power plant owner, the day it signs a
9 contract, also fixes its gas cost for the life of the
10 contract, which is very different than in reality. But
11 this methodology for the gas price forecast has gotten
12 used in energy efficiency and others. It's a fairly
13 good, simple way of using NYMEX prices for the first
14 half, and then transitioning to long run fundamental
15 forecasts for the later period, and it's in a
16 methodology that has been adopted by the CPUC, so we've
17 seen this get taken up in energy efficiency demand
18 response, and in other proceedings.

19 So one point I want to make is this idea that
20 the costs of a power plant are easy to discover; we
21 found out that is not the case. So the MPR, again, is a
22 bit unusual, we are limited to using public data for
23 plants recently built in California. There was often
24 talk of trying to use the cost of generation inputs -
25 or, model - because that represents a wide survey of

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 many more plants. We were limited by the legislation to
2 using publicly available data and, since the cost of
3 generation was an aggregation of proprietary survey
4 data, we couldn't use that. But the first thing that
5 stands out is we had to go look in detail at a bunch of
6 documents to try and find out what was and was not
7 included in each of the costs, and you can see we have
8 to break out whether there's dry cooling, whether any of
9 the environmental or funds during construction are in or
10 out of the base cost estimate in that area by plant.

11 And then, in the last round of the MPR, if you
12 remember, in 2008 and '09, we were dealing with rapidly
13 inflating prices and inflation for raw materials, so
14 steel, copper, all those costs were going up quite a
15 bit, and this led to a challenge in the MPR where the
16 plants we had data for were from 2005, 2006, or before,
17 and the argument in the proceeding were that just
18 inflating those costs up to 2008, 2009 and 2010 prices
19 was not sufficient to represent the actual run-up in
20 recent prices. So we ended up with this complicated
21 process, which I'm not advocating, but it points out the
22 things that come up in these proceedings.

23 And this Palomar example is a good one. Again,
24 we had a document in 2004 that had a price for a plant
25 that was going to be built and online in 2006, so how do

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 we escalate that cost to 2009? If escalation was nice
2 and stable, we would just take the 2006 number and
3 escalate it to 2009 or 2010, but what we ended up doing,
4 because the expected rate of escalation changed so
5 dramatically, is we de-escalated our 2006 price back to
6 the date of the document which was 2004, using what we
7 assumed was their cost of escalation, so roughly 1.5 -
8 2.0 percent, and then we re-escalated from 2004 all the
9 way forward to 2009 with the more recent Handy-Whitman
10 Index that had a much steeper escalation for capital
11 costs. Again, this was designed to represent in 2009
12 the idea that steel and cooper were driving up and the
13 labor shortages were driving up plant costs. It all
14 sounds very quaint now.

15 One public source of escalation, Handy-Whitman
16 is proprietary, but the Army Corps of Engineers
17 publishes every six months an escalation index that has
18 a break-out - I think it's line number 9, which is for
19 hydro plants or power plant, so we used that. One other
20 element of the model in the long run, levelized cost of
21 energy, we - and this is an example of a bug in the
22 model that is fairly fundamental, that survived for
23 three years before we manage to - we weren't looking for
24 it, it just - PG&E, I think, was finally the one that
25 pointed out, so the MPR, we have 10, 15 and 20-year

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 terms for an MPR contract and, originally, we had the
2 model, just calculated a 20-year MPR, and then for the
3 10 and 15-years, we just took the first 10 years of the
4 model, the first 15 years of the model, so that would
5 essentially, if you look at the blue line, just be
6 cutting the blue line at 15 or 10 years. Again, three
7 years of lots of eyeballs on this. It was finally 2008,
8 PG&E realized that that is over-representing the cost of
9 the shorter term contracts, so we had to switch to
10 escalating the fixed cost in the MPR model year-by-year,
11 and then levelizing based on those costs for 10, 15-
12 year, and 20-year periods, and you see you get the more
13 accurate representative costs. The MPR model for those
14 shorter year contracts assumes no salvage value or cost
15 recovery after the contract, so it just assumes that, at
16 the end of the contract, all the remaining costs are
17 going to get picked up by somebody else in the
18 subsequent contract, which works out fairly simply for
19 modeling purposes.

20 So financing - this, I think, will be a big
21 topic of discussion for today and it was in the MPR
22 model. Again, in the litigious environment - so we have
23 the regulatory process and the utilities are eager to
24 have the MPR reflect a lower value because that's less
25 that's coming out of their ratepayer dollars, and more

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that's coming out of the State, of Supplemental Energy
2 Payment funds. The renewables advocates are the
3 reverse, they want to see the MPR be as high as
4 possible. So we sit down in a room in 2007 and we're
5 arguing about the cost to capital, the utilities with a
6 straight face say any asset that has a long term
7 contract with a fixed - long term contract with a credit
8 worthy utility, that would have a financing cost of a
9 credit worthy utility. And, you know, there's some
10 legitimacy to that argument; it struck us as overly
11 optimistic that you'd get exactly the same financing as
12 a credit worthy IOU. The renewable advocates are in the
13 other direction, they want to see the MPR represent an
14 un-contracted merchant plant, so if you remember in
15 2008, Calpine and merchant are in fairly dire credit
16 straits, and so they have very high costs of capital.
17 So they are arguing to use those. As a result, we end
18 up with a very just negotiated solution, the reason we
19 sort of like this is it comes out in the end with a
20 number that seems reasonable, but it's one approach to
21 having a public method for calculating a cost of capital
22 that can be updated, which is simply looking at bond
23 ratings for either a risk-free rate, a Treasury, or in
24 this case, for bonds - this was a mid-size industrial
25 with sort of a medium credit rating and we take an

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 average of some of those quotes, add them up, and we get
2 a cost of capital for the MPR. A few of the data
3 sources, just for reference, there is a Professor at NYU
4 who compiles a bunch of data that is fairly updated
5 regularly on cost premia, risk premia, and then there is
6 now owned by *Morningstar* Ibbotson also publishes reports
7 on a regular basis that I think now - they're not quite
8 as expensive, you used to have to buy a book that costs
9 like \$3,000. I think they are more reasonable now. So,
10 back on the contract terms, one interesting point is
11 we're talking about a fossil fuel plant, whether it's an
12 MPR contract or an un-contracted, has a dramatic impact
13 on the risk we assume for the contract. The MPR, as we
14 defined it, again, it doesn't exist out there in
15 reality, but as we defined it, had very low risk, we're
16 assuming no gas price risk because it has a fixed price
17 hedged gas contract, no energy price risk because it's
18 got a firm off-take with a credit worthy utility, and we
19 include in the MPR in 2009, there is a cost for
20 reserves, so that is accounting for some of the credit
21 party. But if we were trying to look at another
22 contract for the same plant, it could look very
23 different.

24 Greenhouse gas, of course, is an issue. In the
25 MPR, we used a survey that continues to be used,

1 produced by Synapse, it's getting dated, and it's not a
2 particularly rigorous methodology, it's an average of a
3 bunch of forecasts based on very different legislative
4 scenarios, but this represents an issue we ran up
5 against in December. We were trying to update the costs
6 for the Demand Response proceedings and we go to re-
7 enter the gas prices in our avoided cost model, and
8 you'll remember that the ARB published their rules in
9 December, saying they were going to become effective in
10 2012, so when we looked in 2011, the gas prices looked
11 fairly flat for the longer term contracts, and for the
12 dates in December, but then, after those rules are
13 published, just before the 16th, we see a noticeable bump
14 in the forward electricity prices. And so that implies
15 to us that the market is now imputing some greenhouse
16 gas costs in their forward costs of electricity.

17 In this case, we punted, we just used the price
18 quotes from before December 16th, but this is going to be
19 a challenge going forward now, how much does the gas
20 price forecast include in it implied GHG cost. And, of
21 course, it's not going to be 1:1, there's always going
22 to be some kind of discount for uncertain future, so we
23 can't necessarily just assume that the gas prices
24 include all the appropriate greenhouse gas costs, going
25 forward.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 So, I'm just going to touch briefly on the
2 problems with the MPR from a procedural standpoint. We
3 end up with a problem where everybody knows that the
4 IOUs are short renewable energy and, so, the MPR, rather
5 than becoming kind of a competitive differentiator
6 between market and renewable energy, ends up becoming
7 somewhat of a floor because the producers believe that
8 they can go get a contract with the utility at least at
9 the MPR or more, and we saw this with other
10 solicitations in California, say, for the municipal
11 utilities, they would be getting feedback that "you have
12 to pay me at least the MPR because I know I can go and
13 get that from the IOU." So, it becomes very
14 uncompetitive, it serves as sort of an anchor and almost
15 a floor for renewable energy prices. And when we have a
16 net short position that's so large, we can't assume that
17 the solicitations are perfectly competitive anymore, at
18 least in terms of the prices they're bidding. And then
19 the other main limitation was we ended up with one
20 single price that's applying as a benchmark for all
21 renewable technologies, so you end up overpaying wind
22 because that's an established technology that's
23 relatively cheap, and underpaying, say, solar power
24 tower of concentrating solar thermal. And so you really
25 end up with a single benchmark that's not doing its job

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 in either case.

2 So I mentioned the over-constrained problem and
3 this is one limitation to any model that is trying to be
4 all things to all people, but the main challenge for the
5 MPR was coming up with an assumption on capacity factor
6 because we're supposed to represent on-peak and off-peak
7 prices, we're supposed to represent the capacity vs. as
8 available energy. So at one point in the MPR, we have
9 this rather convoluted economic dispatch so the IOU's
10 each have a time of delivery factor that is part of
11 their renewable solicitation. We apply that to the flat
12 levelized price of the MPR, and then try to calculate in
13 each Time of Use period would it be economic for the
14 plant to operate or not? And then this ended up with an
15 iterative process that, again, was convoluted and really
16 didn't make a lot of sense, but we got to capacity
17 factor. Because that didn't seem to work very well, and
18 the best solution ended up being just assume that the
19 plant is running at its technical capacity factor, and
20 those two factors are from the Cost of Generation
21 Report, we know that's unreasonably optimistic, and
22 then, so we married that with the time of delivery
23 factors from each IOU. So the way the MPR is designed
24 to be used, you have a generation profile for your
25 renewable, you apply the time of delivery factors, and

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that's going to give you your adjusted average MPR.

2 So it's easier to explain in an example. In
3 2010, we have an MPR -- I believe this is a 2010 20-year
4 contract -- so the price is \$97.00 per megawatt hour.
5 If you bid a solar project, so you have a solar profile
6 which is more on-peak than off-peak, and then apply the
7 TOD factors of each utility, each of them are slightly
8 different, you end up with a PPA price that is somewhat
9 higher. So this is, in a way, reflecting a lower
10 capacity factor, in a way reflecting the higher value of
11 energy during on-peak periods. But it's a simple
12 methodology that, again, is not really well-suited to
13 try and do all these things at once.

14 So one thing to note here is for, say, a PV
15 project to get a \$97.00 price, PPA price, all they would
16 have to do is bid in a price of \$84.00. If you adjust
17 that by the TOD factors in FCE, you end up with a
18 contract price of \$97.00. And this is how we see in the
19 press often solar is claiming to be the MPR, and maybe
20 in some cases they are, I'm not sure, but the main
21 problem is the price being quoted is not always clear
22 and so, for one, the MPR price is low because if you
23 just look at the MPR table, it's pre-TOD factor
24 adjustment. The other main factors are, often PPA
25 prices are quoted not only before time of delivery

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 adjustment, but either in a first year price or in a
2 price that escalates over the term of the contract. So
3 it's quite possible you are looking at a solar PPA that
4 is quoting a levelized first-year price, which would be
5 the bottom quadrant on the right of this graph, but
6 after you do the TOD adjustment and you levelize over
7 the contract term, it's actually equivalent to what
8 would be in MPR a levelized cost of energy that's not
9 TOD adjusted, which is the solid red line. So, all by
10 way of saying we really need to know that the price is
11 being tossed about, whether or not they are TOD adjusted
12 or not, whether or not they are escalating, and whether
13 or not they are a first-year price.

14 So as most of you probably know, the MPR is now
15 officially dead and the 33 percent legislation takes the
16 MPR out of the renewable contracting process, but it
17 lives on because, once a model gets out there with the
18 CPUC stamp of approval, it's very hard for other
19 proceedings to resist, so the MPR was adopted as a
20 benchmark for the feed-in tariff for less than three
21 megawatt projects. So we won't be producing the MPR on
22 a regular basis as part of the renewable solicitations,
23 it's as yet unclear how often and in what form the MPR
24 will be recalculated to support the Feed-in tariff.

25 So, as Ryan mentioned, the MPR is very much an

1 example, it's nice in that it's a CPUC blessed model
2 that's gone through a lot of review and stakeholder
3 process. On the other hand, the stakeholders are coming
4 in with a very strong point of view and, often, the
5 ultimate input and model assumptions represent more of a
6 negotiated settlement than actual best estimate of what
7 reflects a market reality.

8 A few things, but this might be more appropriate
9 for this afternoon, but as we look forward in cost of
10 generation estimates, the increasing penetration of
11 renewables are going to present some more challenges.
12 In general, the CAISO is looking at - they're very
13 concerned that, with a lot of zero marginal cost energy
14 out there, the average energy prices are going to come
15 down, the ancillary services prices we've already seen
16 come down, post MRTU. This makes it even less economic
17 for a fossil plant to run in the market - how are we
18 going to recover the rest of those fixed costs to get
19 the fossil plants we need to operate and provide the
20 flexible generation we're going to need to integrate all
21 these renewables?

22 Another issue as we look ahead planning, we've
23 always very much looked at capacity planning for
24 planning reserve margin, meeting our peak-load plus 15
25 percent going forward. Probably some of the studies are

1 suggesting that the limiting factor will now be how much
2 we need to meet the morning ramp, or the evening ramp,
3 or the load following with the forecast error that
4 renewables introduce and, so, it won't be looking at a
5 standard just planning reserve margins for peak
6 capacity.

7 Finally, as has been mentioned, the cost of
8 generation model is very much not a value model, though
9 it often gets used as such. The best proxy we have for
10 the value of capacity, and this is used in the avoided
11 cost proceedings an awful lot, is what the cost of a
12 combustion turbine is. So that would represent a long-
13 run marginal cost of capacity, the cost of building a
14 new combustion turbine and subtracting out the revenues
15 it could earn in the energy market, and then what's
16 leftover is your cost of capacity. That comes out, you
17 know, roughly on the order of \$100 per kilowatt year.
18 On the other hand, with the economic slowdown, we see
19 resource adequacy prices, so these are the prices bid
20 annually into the capacity market. They are not made
21 public, but they are roughly on the order of \$25.00 to
22 \$30.00 a kilowatt year, so that's much less than what a
23 cost of generation model would come up with.

24 I wanted to mention two other things that I
25 think have come up that are of interest, and these came

1 up in predicting the demand response proceeding. We had
2 not appreciated before the impact of temperature,
3 particularly on this issue of what is the value of
4 capacity. Not only is the output of a CT at high
5 temperatures reduces, it's on the order of 80 percent,
6 so that takes a pretty big hit on what the value of your
7 peaker is on a hot summer day, how much it could
8 produce. And your heat rate also takes a pretty big
9 hit, so what we've had to do in the avoided cost
10 modeling is try and model the temperature each hour that
11 these plants are going to operate, so that we have a
12 better understanding, 1) whether it's economic, what's
13 the economic dispatch, 2) what's the value capacity and
14 the cost of providing capacity on a peak day. And then,
15 capacity factor is always a challenge, this is one
16 method that is actually seeming to work pretty well, at
17 least for now, for a combustion turbine. So one of the
18 issues in the MPR and that Joel mentioned, that the COG
19 has gotten some criticism for, is how do you justify a
20 capacity factor for combustion turbine? Do you assume a
21 low five percent as the cost of generation model data,
22 you get a very high cost, levelized cost, of energy or
23 cost of capacity. The market saw something closer to
24 nine or 10 percent, and there has always been this
25 question of how to reconcile what your model would say

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 is economic vs. what we see in the market. One method
2 that is, as I said, working pretty well for now in the
3 avoided cost proceedings is dispatching a CT into the
4 real time hourly prices from post-MRTU CAISO. And so,
5 what we do is we look at the real time prices, which are
6 a lot more volatile than the day-ahead, calculate the
7 variable operating cost of a CT, and you can see that's
8 pretty solid, but it's varying a little bit, and that
9 variation is driven by those temperature adjustments
10 described earlier, and then we rank the prices in
11 descending order and you end up with the number of hours
12 that a CT is going to operate. And it's a bit of trying
13 to get an answer that we thought made sense and the
14 party would agree to, but we do end up getting in the
15 approximately nine percent capacity factor range, using
16 this method, depending on the year, the gas price used
17 each year. The rest of this is for reference and that's
18 it. So, I'm happy to take any questions or defer
19 talking more of these issues in the afternoon.

20 MR. RHYNE: Okay, thank you very much, Eric.
21 Questions from the audience? Questions from our other
22 panelists and modelers?

23 MR. ALVARADO: Al Alvarado. Hi, Eric. I'm just
24 curious about the statement, you talked about how you
25 were comparing the resource adequacy range of costs

1 that's been observed vs. your levelized cost estimates,
2 and it's about a quarter of your capacity cost
3 estimates. Any speculation of what the difference could
4 be? I mean, I would assume that a generator may have
5 other revenue sources, so they're not going to be
6 putting all their eggs just on the resource adequacy
7 contract.

8 MR. CUTTER: So there's a couple of issues and
9 this is has been a bit of contention in the Eastern
10 markets, when you try and have a single price for
11 capacity, in reality the cost for a new entrant is much
12 much higher than the cost for an existing fairly
13 depreciated plant. So now that we're in a period of
14 excess capacity, our reserve margins are on the order of
15 30 percent, there's plenty of capacity in the market and
16 it's true that a plant that is earning other revenues,
17 either in energy or is fairly depreciated, can bid a
18 much lower cost in the resource adequacy and have that
19 be seen as economic. So I think that's mostly what
20 we're seeing is a lot of excess capacity and existing
21 generators that don't need to recover the full cost of a
22 new generator, bidding into the capacity market. Back
23 East, there's been a lot of controversy over - from the
24 state side, of feeling that they're paying too much for
25 a market capacity price that's being driven by new

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 generation, so it's more on the order of \$100 a kilowatt
2 year, and they're arguing you are essentially paying
3 existing generators a windfall that is far beyond what
4 they need to be compensated to remain operational.

5 MR. RHYNE: So just to summarize, it's really
6 the difference between existing vs. new generators and
7 which one of those are kind of falling on the margin.

8 MR. CUTTER: Right, it would be - yeah - the
9 main difference.

10 MR. RHYNE: Okay. So, my question to you is,
11 you mentioned early on the limited scope of what the MPR
12 is intended to do in the legislation vs. kind of how it
13 has evolved over time and how it's been used. The
14 Energy Commission obviously looks at a wide range of
15 energy policy issues and questions. From your knowledge
16 and background with the Market Price Referent and that
17 model, could you see any areas where we either could
18 potentially use that methodology, or should avoid using
19 that methodology?

20 MR. CUTTER: Well, certainly avoid adopting the
21 MRP methodology in whole, but the two areas where it has
22 seemed very helpful is the gas price forecast. I know
23 the gas price, the internal gas price forecast of the
24 CEC are often viewed as somewhat politically motivated
25 with some skepticism from the outside, you know,

1 depending on the Governor and so that's a potential
2 method that looks fairly unbiased as using a NYMEX
3 forward price for the early years, and then some average
4 of fundamentals. And the reason we have to average the
5 fundamentals is so we don't reveal any one proprietary -
6 the argument against that is you are averaging three
7 forecasts that are forecasting -- completely
8 inconsistent forecasting, very different worlds, but it
9 is one way to bring the parties together. And then the
10 other is the data used for one potential mechanism for
11 the financing cost method that can be updated with
12 publicly available sources, though Michele will talk
13 more about some of the issues there. And then,
14 otherwise, the model and the methodology are fairly
15 similar to what's used in the cost of generation, or the
16 RETI model, there is nothing in the model itself that is
17 particularly unique in that respect.

18 MR. RYHNE: And then, would you suggest or - I
19 guess, what's your feeling about the direction that the
20 cost vs. real time dispatch approach that you mentioned
21 towards the end, of comparing the cost of a CT vs. the
22 real time dispatch from, I guess, a particular
23 referenced year - is that something that is continuing
24 to develop? And, you know, do you see it as having a
25 potential going forward? Or how do you see that being

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 integrated into your future modeling activities?

2 MR. CUTTER: We're using that in a number of the
3 proceedings, again, that are looking at the cost of
4 energy and it's proving a useful way that seems robust
5 enough and representative that parties across the
6 spectrum can buy into it, and it works much better than
7 either just using an average of historical plant data
8 because there is always the argument that history, you
9 have older plants that aren't as efficient, that aren't
10 going to represent how much a new plant that has a
11 better heat rate is going to run. So, it's a nice
12 balance of trying to look at the actual heat rate of a
13 new plant in market prices. One disadvantage is, you
14 know, we're looking at a shape, at least it's now post-
15 MRTU, you know, before we were stuck with a PX shape
16 from 2001, but... So you are looking at a historical
17 price shape and there are going to be those that argue
18 going forward with increasing renewable penetration
19 that's not representative of the life of the contract,
20 so that's a challenge that's going to be hard to weave
21 into that kind of approach. On the other hand, we don't
22 have one better --

23 MR. RHYNE: All right, thank you.

24 MR. CUTTER: -- it seems to do a pretty good
25 job.

1 MR. RHYNE: Any other questions from the
2 audience or online? No questions online, no more
3 questions from the audience. Thank you very much.

4 All right, so our next presenter is Michele
5 Chait from E3, as well, talking about Pro Forma
6 Calculator.

7 MS. CHAIT: Good morning. I'm actually going to
8 take a slightly different approach this morning to the
9 presenters that happened earlier. I'm actually not
10 going to speak to a model per se. What I'd like to do,
11 and I think it is in keeping with the focus of today's
12 discussions, is to really focus on some key areas of
13 assumptions and modeling in the cost of gen model that
14 could be improved in future versions.

15 The Cost of Gen Study strives to achieve the
16 most current levelized cost estimates for use in program
17 studies at the CEC and other state agencies. And
18 there's a couple of implications that arise from that.
19 Firstly, you need to have an objective analysis, you
20 need to make sure that you're not tilting the playing
21 field towards or away from any of the technologies that
22 you're looking at. If you're going to take these
23 assumptions and results and use them in a program type
24 analysis, or planning studies - I'm too short for the
25 microphone - what you're trying to get at, and Ryan

1 Pletka alluded to this earlier this morning, you want to
2 be able to model the relationships among the
3 alternatives appropriately, but it's not necessarily
4 important to get the right answer.

5 The Cost of Gen model and the Cost of Gen Report
6 produce assumption that argues in many other analyses,
7 aside from planning studies, and it really is important
8 that we arrive at the right answers because the Cost of
9 Gen Study is trying to do a lot of things. E3 actually
10 uses quite a few of these assumptions in its studies, I
11 know probably five or 10 times a year, I'm pulling out
12 either a CT cost or a CCGT cost and looking at
13 components of the levelized costs, and it really is
14 important when we're taking these out of a planning
15 study to get them right.

16 So, again, my presentation today, I've put it
17 together with an eye of focusing on where we could add
18 additional complexity and get the greatest impact from
19 them, sort of the biggest bang for the buck, and I
20 realize that a lot of time and effort goes into this
21 analysis and I know it's a lot of work and a lot of
22 money, and some of these will be a wish list, but I'm
23 hoping that this feedback is helpful.

24 My overriding proposition today is that the goal
25 of the analysis that we're using this data for should

1 drive both the calculation methodology and the
2 assumptions that we're using. So, for example, if I'm
3 putting together an IOU Revenue Requirement Analysis,
4 I'm not focused on what's happening with cash flow and
5 cash taxes, I'm looking at what's happening with book
6 depreciation and how the rate base is put together.
7 Similarly, if I'm using an IPP contracted project, I'm
8 going to be building up an LCOE similar to what's done
9 in the Cost of Gen Study. If I'm looking at an IPP
10 Merchant Analysis, I'm going to be looking at a plant's
11 heat rate and dispatching that into the market and
12 trying to figure out what that plant is earning, and
13 given California's markets right now, we all know that
14 that's not going to be anywhere near the returns that
15 we're seeing as the input values in these analyses. If
16 I'm looking at an LCOE calculation, I'm looking just at
17 the asset, maybe at the busbar, or the delivery point.
18 That analysis will not include full system impacts
19 analyses assumptions such as integration costs,
20 transmission costs, things like that, so you want to be
21 really careful to make sure that the inputs and the
22 assumptions that you're making are appropriate to the
23 goal of your analysis, and I'm going to be touching on
24 this idea throughout my presentation today.

25 Some of the things I wanted to focus on are

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 capital costs, costs of capital, some issues that come
2 up in project finance, taxes, the treatment of
3 dispatchable resources, and some things that you might
4 want to include in a system cost analysis.

5 So, for capital costs, I know this is a big wish
6 list, but very often I'm opening up the Cost of Gen
7 Report and trying to figure out what is included, and
8 sometimes I don't have the time to go into the actual
9 Excel version of the Cost of Gen Model and pull these
10 cost amounts out, so one of the areas I think could be
11 more helpful is if we produced capital cost estimate in
12 either dollars per kilowatt or dollars per kilowatt
13 year, that is broken out into additional granularity.
14 Some of the areas I think could particularly be
15 beneficial include a break-out of the interest during
16 construction, possibly the treatment of transmission
17 upgrade costs, whether those have been included or not,
18 I know they are reimbursed, but it's hard to tell in the
19 model with a printed report how those have been
20 included. A break-out in either dollars per kilowatt
21 year or dollars per kilowatt of incentive assumptions,
22 sales tax and property tax incentives, emissions
23 reduction credits, whether there's been an incremental
24 cost increase for the presence of a labor agreement, and
25 land costs are another area I always struggle over

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 because I never know whether they've been included in an
2 operating cost or in the capital cost. So, from my
3 personal perspective, it would be really helpful to just
4 have a break-out of that, or some kind of a note in the
5 report about where those are.

6 A lot of my presentation today is a talk on how
7 we can get to an appropriate cost of capital. For
8 IOU's, it's really easy because there's the cost of
9 capital proceeding and there's a publicly available cost
10 of capital, capital structure, debt rate, and equity
11 rate, that we can use. The IPP cost of capital isn't
12 public, but it's my assertion today that there are some
13 basic principles that we can use to arrive at what that
14 number might be. The first idea is that market returns
15 are going to be achieved, and I say that because, on one
16 side you have developers that are trying to get the
17 highest return possible for their project, on the other
18 side, typically we're assuming that there's a
19 competitive bid process, and that process is going to
20 force returns down to a market level. And the market
21 level that I'm assuming means that the returns that this
22 project is receiving are appropriate for the risk of the
23 underlying asset. In finance, we have a fundamental
24 principle that says that, as an asset's risk increases,
25 the return needs to increase, too. And if that doesn't

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 happen, investors are going to invest their money in a
2 less risky asset for the same amount of return. So, you
3 want to see, as risk increases, the returns are
4 increasing.

5 So, when I say "risk," what does that mean?
6 Here are some small examples of risk. Some of these can
7 be compensated for, either with insurance or within the
8 contract structure, but these are some of the ideas. So
9 we're talking about California power plants. In
10 California, we have the history of the power crisis, we
11 have the regulatory and legal framework, weather,
12 earthquakes; technology - is the technology new or
13 established? Are there O&M guarantees, manufacturer
14 guarantees on the equipment? Is the power plant
15 merchant or contracted? What are the contract terms
16 impacting your revenue? What is the credit quality of
17 the entity that the IPP is contracting with? Is it a
18 utility? Is it a robust contract? What are the
19 expectations of the costs? For example, is there a take
20 or pay fuel contract? Regulatory uncertainty also
21 introduces a lot of risks. As we know, there is
22 curtailment questions, cap-and-trade, once-through
23 cooling, and the finance markets can also introduce risk
24 in terms of the tenor of the debt entities are able to
25 obtain and the inflation rates.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 When I speak today, I'm speaking about an IPP
2 cost of capital that assumes a certain structure, and
3 that structure is a California Generation Asset. The
4 asset is assumed to have a 20-year contract with a
5 California utility. The contract terms have been made
6 public through an RFP that is publicly available. And
7 the cost of capital reflects the current low inflation
8 environment. While there is a legislative mandate in
9 place for the 33 percent RPS assets, it's our assertion
10 that that legislative mandate isn't really a factor in
11 pricing the risk because we're assuming either for a 33
12 percent RPS asset, or a conventional asset like a CT, or
13 a CCGT, that the contract is already in place, and so
14 that risk is not in the picture anymore.

15 What sources do we have to be able to price
16 these risks? We don't have a lot, as I said before,
17 because IPP returns are confidential. One publicly
18 available source of this information is the State Board
19 of Equalization's Cap Rate Study, capitalization rate
20 study. This is a screen shot from the 2011 BOE Cap Rate
21 Study. The Board of Equalization produces the
22 capitalization rates for use in property tax evaluation,
23 and they produce estimates of the cap rate or the
24 discount rate for many industries, including telecoms
25 and railroads. This is for electric generation

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 facilities. And the over-arching idea of this is the
2 Board of Equalization looks at companies it believes are
3 comparable and have comparable risks to the asset that
4 it's trying to value. What it does, then, is it looks
5 at - or, calculates the asset return for these
6 companies, and that asset return is a measure of what
7 the market perceives as the appropriate return for the
8 risk of those companies. And then the third thing that
9 the Board of Equalization does is it assumes a capital
10 structure, so a percentage of debt and equity that is
11 going to fund the asset and, with that capital
12 structure, it produces an equity return. So what I'm
13 going to do now is walk you through each of these steps.
14 So, first, I guess, in the bright red circle here are
15 the merchant generators that the Board of Equalization
16 has selected as comparable companies for evaluating
17 electric generation facilities.

18 So, I would argue that these comparables are not
19 really comparable if we're talking about valuing
20 California contracted generation assets. NRG Energy,
21 the holding company that is publicly traded, has 24,000
22 megawatts of generation, not only in California, but
23 Nevada, Arizona, Texas, the Northeast, Australia, and
24 Germany. Also included in this hold co. is a company
25 that provides engine maintenance and parts, steam

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 provider, Reliant energy, and an electric vehicle system
2 of fast charging stations. AES Energy is similarly
3 diverse, they operate in 28 countries, five continents,
4 own 14 utilities. So, you can see that the risks and
5 types of revenues that are being valued with these
6 comparable companies are not just California contracted
7 generation assets, they have a wide variety of
8 activities.

9 Secondly, we're going to move on to looking at
10 how the asset return for these companies is calculated
11 and I have highlighted the relevant data in the red
12 circle here. The Board of Equalization has calculated
13 an unlevered beta of .75. All beta does is measure how
14 companies move with respect to the market, so a beta of
15 less than one, which .75 is, means that, as the market
16 moves, these companies move less than that. The Board
17 of Equalization has provided a formula for how to
18 calculate the asset return. They've provided a risk-
19 free rate of 4.37 percent and a market risk premium of
20 6.7 percent. So, when you apply this formula with these
21 assumptions, you end up with an asset return of 9.4
22 percent.

23 So this is the market's idea of what the
24 appropriate return for these assets is, for these
25 comparable companies. What this means is that, if you

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 invest in an asset of equivalent risk to the comparable
2 companies, then a return of 9.4 percent is appropriate
3 for that risk. An asset return is the same thing as the
4 return achieved on the total capital cost of the asset,
5 so the debt and equity combined, and it means that if an
6 asset is 100 percent equity financed, so no debt, that
7 is the return that you should achieve, it's 9.4 percent.

8 Lastly, we're going to move from this asset
9 return to an equity return and to do that you have to
10 add debt into the capital structure. The Board of
11 Equalization assumes a capital structure of 45 percent
12 debt and 55 percent equity, and when you do that and run
13 through all the formulas and the calculations, you end
14 up with an equity return of 11.86 percent. It's really
15 important to understand that that 11.86 equity return is
16 a function of the level of debt and equity that you have
17 in the capital structure, and if you make the capital
18 structure 30 percent debt and 70 percent equity, or 40
19 percent equity, and 60 percent debt, that number is
20 going to change, and you cannot take it out of context.

21 So, as we said on the previous slide, we've got
22 an equity beta of 1.118, it's resulted in an equity
23 return of 11.86 percent. The Board of Equalization,
24 then, recommends an equity beta of 1.2, which yields an
25 equity return of 12.1 percent, and then makes some

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 adjustments to that and, in the end, ends up
2 recommending an equity return of 13.87 percent. So now
3 we've moved from an 11.86 percent equity return to a
4 staff recommended equity return of 13.87 percent, so
5 we've moved up two percent.

6 So, to summarize this, on the last - I'm not
7 sure what page this is in the study - but the staff ends
8 up recommending a cap rate of 11.16 percent, so this is
9 the same thing as your asset return. This, I think, is
10 inappropriate for costing California contracted
11 generation assets, and I think it's inappropriate for a
12 couple of reasons. As I said earlier, it's pricing the
13 risk of companies that I don't think are really
14 comparable if you're talking about contracted California
15 assets. Secondly, we're using this 13.87 percent equity
16 return and, if you recall, if you look at just the
17 straight calculations that come out of the finance
18 formulas as we were looking at an equity return of about
19 11.8 percent; thirdly, this calculation that achieves
20 the 11.16 percent uses a post-tax equity return and a
21 pre-tax debt rate, and you either need to use a pre-tax
22 equity return with a pre-tax debt rate, or a post-tax
23 equity return with a post-tax debt rate, and if you make
24 the adjustment to the debt rate, you end up with a cap
25 rate of 9.74 percent, rather than 11.16 percent. And if

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 you wanted to look at just the pure risk of the
2 comparables, it's about 9.4 percent, so you can see, we
3 have about a two percent swing in what the comparables
4 tell you the cap rate should be, and what the Board of
5 Equalization Study tells you the cap rate should be.

6 So what price is appropriate if you're trying to
7 cost a California generation asset? This table shows
8 some publicly available asset return assumptions that
9 have been used over the past few years. Eric spoke this
10 morning about MPR, they use an 8.25 percent asset
11 return. E3, in our 33 percent RPS model, used an asset
12 return of about 8.7 percent. The Cost of Gen Model used
13 an - this was the 2009 Cost of Gen Model, I think - used
14 a IPP cost of capital for alternative technologies, so
15 that's renewables, of about 8.5 percent, but for fossil
16 assets, it used a cost of capital of about 10.5 percent.

17 We struggled in E3 to understand why there's a
18 two percent different in the cost of capital for fossil
19 assets vs. renewable assets. If you're going to assume
20 that the assets, both assets, have a contract with
21 similar terms and similar risk, it seems like the asset
22 return for those assets should be similar. Now, if
23 you're going to assume that the fossil asset doesn't
24 have a contract in its merchant asset, there is a strong
25 argument to increase the asset return, but at the same

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 time, in California, such an asset would not be
2 achieving a return of 10.46 percent, it would be earning
3 much less money in the power markets. If you look at
4 the regulatory mandate as a potential explanation, a
5 regulatory mandate could increase supplier power for IPP
6 assets and could actually increase the asset return that
7 they're earning, rather than have a lower asset return
8 than the fossil assets. My contention is that that's
9 probably not happening due to a competitive bid
10 situation, and so you probably end up at around a market
11 return with no supplier power and an asset return of
12 somewhere around 8.5 percent.

13 As we saw before, the asset return and equity
14 return are linked and they're linked via how much debt
15 is in the capital structure. The theory behind this is
16 that, as leverage increases, equity becomes riskier and,
17 as equity becomes riskier it needs more compensation,
18 because, as we said earlier, the more risk something
19 has, the more return it needs. Mathematically what's
20 happening is increased debt, which is priced lower than
21 the asset return, produces more returns for equity. The
22 really really important point here is that, how an asset
23 is financed doesn't impact the risk of the asset, so it
24 doesn't impact the asset return that that asset should
25 receive. So, as you can see in the table up here,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 depending on how much debt you have in your capital
2 structure, you can produce a multitude of different
3 equity returns. With 30 percent debt, with these
4 finance assumptions, we have a 10.6 percent ROE with 80
5 percent in the capital structure, equity is very risky,
6 and it is showing a 28.3 percent return.

7 So what drives the capital structure that can be
8 achieved? Developers want to achieve the highest equity
9 return possible, and what they do to do that is try to
10 increase the amount of debt they have in their capital
11 structure. Lenders want to make sure they get repaid
12 and so they're trying to push down the amount of debt
13 that they have in the capital structure, and something
14 called a debt service coverage ratio is what lenders use
15 to try to figure out how much debt can be lent into the
16 project. The formula for that is operating profit
17 divided by debt service. For a California asset with a
18 good contract, usually somewhere around 1.4 or 1.5 for a
19 coverage ratio was adequate. As projects get riskier,
20 you usually see higher coverage ratios. One of the
21 things we've noticed in our modeling is that, for a
22 project with investment tax credits or production tax
23 credits, we're not able to put so much debt into the
24 projects because the LCOE's are quite low, and it
25 produces a lower level of operating profit, and so we've

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 found that we've had to adjust the capital structure
2 down. And this is something that you might want to look
3 at in your Cost of Gen modeling if you're looking at
4 doing cash modeling, not on the IOU side.

5 Sometimes you'll hear people speak about WACC,
6 usually that means the Weighted Average Cost of Capital
7 of Debt and Equity Capital that investors are investing
8 in the asset, that number needs to be a little bit lower
9 than the asset return, otherwise your investors aren't
10 receiving an appropriate return on their asset, they'll
11 actually have a negative MPV and they won't be investing
12 in that. Here, I've used cost of capital to mean asset
13 return, I'm not talking about investors WACC. If WACC
14 equals the asset return, then you're going to exactly
15 achieve the target returns that you're modeling.

16 So, to summarize the cost of capital discussion,
17 the asset return is really the number that you need to
18 be looking at. You can't look at an equity return
19 without understanding what leverage underpins that
20 equity return, and what the price of debt is. You need
21 to really think about the goal of your analysis and the
22 risk of the underlying asset that you're trying to price
23 before you can recommend an asset return. It's really
24 really important because, if the asset return that
25 you're using doesn't match the risk of your assets,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 you're not achieving the goal of your analysis. How the
2 asset is financed does not impact the risk of your
3 assets and it doesn't change your asset return. The
4 equity return does change and it changes depending on
5 how much debt is assumed. And from the work that we've
6 seen in public, we think that somewhere around an 8.5
7 percent return for contracted California generation
8 assets with a long term contract is probably about
9 right.

10 Another topic I wanted to talk about today is
11 project finance considerations. If you have an asset
12 that has a project finance assumption, typically what
13 you'll see is reserve accounts that have to be funded at
14 financial close, some money put aside to cover future
15 debt service in case the project doesn't perform
16 adequately, potentially major maintenance reserve
17 accounts, these are funded upfront and, so, they'll
18 typically increase your capex requirements. It would be
19 - if we're doing a future version of the cost of gen
20 model, it might be helpful to be able to segregate these
21 amounts out and be able to show the impact of what's
22 happening on your capital cost with the project finance
23 assumption. There's also upfront fees in addition to
24 legal cost that can be incurred, and it might be helpful
25 to be able to break those out, again, being able to

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 model debt service coverage requirements associated with
2 the project financing, and the implications on the
3 capital structure for projects that have production tax
4 credit and investment tax credits.

5 The timing of tax benefits - as everybody has
6 mentioned earlier, typically in all of the modeling that
7 we see on these projects in California, we assume that
8 tax benefits are fully utilized in the year that they're
9 available, and what that does is it produces the lowest
10 possible LCOE. Now, depending upon the investors that
11 you have and your structuring, you may not be able to
12 obtain those tax benefits. So one thought we have is
13 you could produce LCOE book ends, or dollar per kilowatt
14 year breakouts of your tax assumptions, so you could
15 show what's happening with your LCOE in the event you
16 can't obtain those tax benefits at the earliest possible
17 time.

18 Dispatchable Resources - we've spoken about this
19 a lot this morning. One of the problems with LCOE
20 analysis is that it's looking at a dollar per megawatt
21 hour metric, and this metric is perfectly appropriate
22 when you're looking at renewable resources that are
23 driven by RPS regulations because what we're trying to
24 price is the dollar per megawatt hour cost of energy
25 that's been procured, but for dispatchable resources

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that provide capacity such as the CCGT and the CT, I'd
2 like to argue that LCOE isn't really an appropriate
3 metric. For these resources, you're looking at assets
4 that provide both capacity and energy, and
5 dispatchability means that the LCOE result can swing
6 dramatically, depending upon what your assumption is.
7 Now, the chart on this page is kind of an illustrative
8 depiction of the LCOE for each of these projects and how
9 much value can be attributed to energy vs. capacity. So
10 you can see in the upper left corner resources such as
11 wind and baseload resource such as coal, nuclear, and
12 renewable solar provide relatively more energy and less
13 capacity. As you move towards the bottom right-hand
14 side of the screen, or the chart, you see that CCGT and
15 CT assets start providing more capacity and less energy,
16 but certainly, if you were able to run a CT for 92
17 percent of hours, you'd be pushing more towards the
18 energy side. So, a thought for this, for the Cost of
19 Gen Report, might be to classify your resources
20 according to their attributes, so you could put the
21 renewable and baseload resources into one table and
22 price those using an LCOE metric; but for resources such
23 as the CT and CCGT, you could price their fixed cost
24 using dollar per kilowatt year, and their variable cost
25 using a dollar per megawatt hour metric, but not

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 combining those into an LCOE. And just separating those
2 and providing the outputs might mitigate some of the
3 confusion that you have when people are trying to
4 compare a CT with a five percent dispatch factor to a
5 baseload renewable resource such as biomass that's
6 running with an 85 percent capacity factor.

7 Lastly, we had some thoughts on looking at
8 system analysis vs. LCOE analysis. As I mentioned
9 earlier, the LCOE analysis usually looks at the cost of
10 a generation asset, either at the busbar or at the
11 delivery point, it doesn't every take into account
12 system costs such as transmission, distribution,
13 integration, and potentially the capacity and energy
14 values of these costs when they're added to the system.
15 The LCOE shouldn't take into account any of those costs
16 if you are trying to produce an LCOE that's looking at
17 what the cost of that plant is. Similarly, if the goal
18 of your analysis is to produce a system cost analysis,
19 then you should absolutely take into account all of the
20 system cost, but you're mixing apples and oranges if you
21 try to start including some of the costs of integrating
22 the assets into your LCOE analysis.

23 Time of delivery impacts are also typically
24 included in your system cost assumptions, but the LCOE
25 analysis is usually post-TOD, so it's reflecting the PPA

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 payments that are actually obtained by your developer
2 and that's such that your developer is achieving its
3 target return with those post-TOD LCOE PPA payments.
4 That concludes what I wanted to speak about today. And
5 Eric has already told you a little bit about E3, so I
6 won't speak about that.

7 MR. RHYNE: All right, thank you very much. I
8 appreciate it. Any questions or comments from the
9 audience? Any from the rest of our panelists?

10 MS. CHAIT: I've scared everybody off.

11 MR. RHYNE: Go ahead.

12 MR. MCGANN: I've got the green light to come
13 on. Richard McCann with Aspen Environmental Group. A
14 few questions. You mentioned that - you were talking
15 about firms that aren't representative, these firms not
16 being representative in California - of course, several
17 of these did own assets, but I think they probably sold
18 all their assets in California at this point, so are you
19 suggesting that the BOE pull from a different pool? And
20 which pool of firms should they be pulling from?

21 MS. CHAIT: Well, it depends what you are trying
22 to value. If you're trying to value un-contracted
23 generation assets, you'd want to value comparable
24 companies that own a lot of those assets in the
25 geographic areas where your plant is that you're trying

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 to value. If you're trying to value contracted assets,
2 then, similarly, you'd want to value but look at the
3 comparable companies that own those type of assets, or
4 have similar risks to that. I personally think it's
5 really difficult to get a group of comparable companies
6 that are publicly traded that are representative of the
7 types of risks that you're trying to value, so I don't
8 know that there are any.

9 MR. MCCANN: Right, so that leaves us back with
10 the BOE if we're going to do this analysis, that we're
11 back with the BOE dataset as publicly available.

12 MS. CHAIT: I would argue that it's not an
13 appropriate metric to use.

14 MR. MCCANN: Right, but we need an appropriate
15 metric, so that is the issue with doing the CEC work is
16 there needs to be an appropriate metric.

17 MS. CHAIT: I agree with you.

18 MR. MCCANN: So we have to make a choice.

19 MS. CHAIT: Well, one of the publicly available
20 sources I suggested is MPR. That is measuring a 20-year
21 California generation asset with a contract.

22 MR. MCCANN: Right, except, as Eric pointed out,
23 that was actually a compromise developed by the -
24 dominated, essentially, by the IOU position in the
25 proceeding, so that was also a problem that that one

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 also is not really necessarily an appropriate metric to
2 use. The Energy Commission is largely trying to draw
3 from publicly available sources that aren't so much
4 dictated by a regulatory process that is happening at
5 another agency in which everything - actually, the
6 negotiations happen in a back room under a black box.
7 So, that's why this choice of using the BOE one, along
8 with the fact that I think, in the BOE, that these
9 companies have a stake in this outcome at the BOE, so
10 that you would expect they would have an issue with
11 this, as well. So that was just an observation about
12 that particular one.

13 MS. CHAIT: One potential solution to this is if
14 the BOE numbers were to be used in public proceedings
15 such as this to determine the appropriate cost of
16 capital for contracted generation assets, some work
17 could be done to determine what an appropriate list of
18 comparable companies is, and look at valuing those, and
19 potentially produce a BOE study that produces a discount
20 rate for un-contracted merchant assets and a discount
21 rate for contracted long term California assets.

22 MR. MCCANN: Right, so I guess it would be a
23 question, and in terms of the Energy Commission's
24 planning process, would they be interested in breaking
25 out the contracted vs. un-contracted resources that sell

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 into the marketplace in their planning process, in that
2 mix of resources that would be doing that. And then,
3 one thing, when I was looking at the asset return impact
4 numbers, there was at a point in the late '90s, early
5 2000's, that there were a lot of assets with 80 percent
6 debt - the phone company doesn't like us [WebEx
7 interruption].

8 MR. ALVARADO: I think our WebEx audio went
9 down. I was just wondering if anyone out there can hear
10 the discussion, please send us an email.

11 MR. MCCANN: Okay. So, in that breakdown, your
12 calculation shows that they would be getting a 28
13 percent return and I don't think the assets at that time
14 are getting that kind of return.

15 MS. CHAIT: So this assumed, if you'd look, a 6
16 percent debt interest rate.

17 MR. MCCANN: Uh huh.

18 MS. CHAIT: That interest rate is likely not
19 achievable for a project finance type of deal. I would
20 imagine it's closer to 7.5, 8.0, 8.5 percent. So if you
21 plug that level of debt interest rate into these
22 calculations, your equity return would drop
23 commensurately.

24 MR. MCCANN: Okay, so that would be - so we
25 might actually see - we'd probably see that the debt

1 interest rates are actually going to adjust for the
2 amount of debt financing, so, in fact, the equity
3 returns would narrow substantially in between the
4 different debt financing assumptions that are in that
5 table that are there, then, I guess.

6 MS. CHAIT: Yeah, if you changed your debt
7 interest rate, your equity return changes, and the debt
8 interest rates that are in this table are reflective of
9 an IOU. I believe the mandated cost of capital in the
10 IOUs now have a debt interest rate of about six percent.

11 MR. MCCANN: Uh huh, okay. And then you
12 mentioned that there's a publicly - you were mentioning
13 publicly available studies on the return - can you get
14 those to us?

15 MS. CHAIT: Uh, these are publicly available
16 models, so the MPR, the 33 percent RPS model is
17 available on the CPUC website.

18 MR. MCCANN: No, these are modeled - these
19 aren't actual studies of the returns, these are actually
20 models -

21 MS. CHAIT: These are in the models, yes.

22 MR. MCCANN: Oh, okay, so this is different than
23 - I was thinking that you had done or were aware of
24 studies on the actual returns on these projects, okay.

25 Thank you.

1 MS. CHAIT: You're welcome.

2 MR. RHYNE: Thank you. Any other questions?

3 Al?

4 MR. ALVARADO: Actually, we have a questions
5 from someone on the WebEx, Mike Mendelsohn. We're going
6 to unmute your phone.

7 MS. CHAIT: Oh, with NREL?

8 MR. ALVARADO: Okay, go ahead, Mike.

9 MR. MENDELSON: Hello?

10 MR. RHYNE: Yes, hello, we can hear you.

11 MR. MENDELSON: Okay, great, thanks. With all
12 the uncertainty that you highlighted really well
13 regarding the LCOE models, I'm just wondering if their
14 use should really be limited to evaluating similar
15 technologies. It seems like we're relying on LCOE
16 models for really more than they're intended for,
17 perhaps like portfolio development, or optimization.
18 And we should just recognize that they can't do that
19 outside of a production simulation model. Any thoughts?

20 MS. CHAIT: Well, I think there's a couple of
21 things. I think that the cost components that go into
22 the LCOE's such as the capital costs and the operating
23 costs, I think that it serves many purposes to have a
24 publicly available data source for those types of
25 assumptions, and I think that the Cost of Gen Model does

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 a commendable job putting those together and in the Cost
2 of Gen Report. I do think that there are limitations to
3 publicly produced LCOE numbers because I think they can
4 be taken out of context and misused in analyses, unless
5 you're really careful about understanding what the
6 assumptions are that have gone into them and either
7 adding in or stripping out costs or benefits that may
8 not be appropriate for your particular analysis. And
9 that's where increased granularity in some of the
10 assumptions and in the breakdown of the components of
11 LCOE, I think, could be really beneficial because it
12 could help with more transparency in what's in the
13 numbers, and facilitate better analysis.

14 MR. RHYNE: So just as a follow-on to that, if
15 you could go to the graphic you showed kind of breaking
16 down energy vs. capacity, this gets to perhaps a
17 question for this afternoon, but I think you've teed it
18 up pretty effectively here, and I wanted to ask you
19 specifically, we refer to levelized cost of energy and
20 it's specific to energy and the use of these models is,
21 I think, as our WebEx caller kind of alluded to, has
22 kind of gone beyond the use of these resources, I should
23 say, it's gone beyond simply providing energy. I think,
24 to some extent, it used to be that, you know, a new
25 resource covered a multitude of sins, in other words, a

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 new generation resource would automatically provide some
2 degree of capacity and load following, and things like
3 that. That's not the case, necessarily, by default
4 anymore, and so there seems to be kind of a divergence
5 of classes of generation types. And you've kind of made
6 some case for the potential for breaking out not just
7 levelized cost of energy, but to some extent a levelized
8 cost of capacity, if I could kind of infer a little bit
9 from what you've said. How would you see that working
10 specifically with regard to a publicly released model
11 similar to what we have now? And how would you
12 recommend kind of dealing with the divergence, the
13 apples to oranges effect that that creates between
14 energy and capacity?

15 MS. CHAIT: Well, so these models are producing
16 the cost of new generation, they're not measuring the
17 market value of that capacity or the market value of
18 that energy. For resources that provide a significant
19 amount of energy relative to capacity, it seems like an
20 LCOE metric is appropriate for those and, for renewable
21 resources that are being procured under these RPS
22 regulations, an LCOE metric is necessary, as well,
23 because you're looking at the cost of procuring energy.
24 For resources that, like CT and CCGT, I think, are the
25 two key resources that we're talking about that can

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 provide energy and capacity, but that are dispatchable,
2 the dispatchability, I think, is the key distinction for
3 those resources. It seems like if you can provide just
4 the fixed cost, so fixed O&M and the dollar per kilowatt
5 year capacity value for those, that's giving you what
6 the annual new build cost of that asset is before you
7 make any dispatchability assumptions, and if you provide
8 the dollar per megawatt hour cost of variable O&M and
9 fuel, and the heat rate for the fuel could vary
10 according to your dispatch assumptions, you could get an
11 idea of what the costs are to dispatch that resource.
12 So, if you're maybe running mid-merit and turning up and
13 down, you'd have a higher heat rate than if you're
14 running 92 percent of hours, so you could produce a
15 curve that provided a higher dollar per megawatt cost
16 for running less frequently and a lower dollar per
17 megawatt hour cost for running more frequently, and you
18 could combine those to produce a metric that's relevant
19 for dispatchable resources.

20 MR. RHYNE: So, it's my understanding that, to
21 some extent, that's already captured in the screening
22 curves that are there in the model, and perhaps you
23 might have more specific comments in the written form
24 that would help us understand how what's there in the
25 model doesn't necessarily capture what your pointing

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 towards because I think, to some extent there's already
2 an effort to capture some of that underlying question,
3 but we certainly are interested in getting to the heart
4 of that breakout that you're talking about.

5 MS. CHAIT: I think one of the pieces, in my
6 mind, that's missing as a user of this study is that the
7 data is there, but it's not necessarily published in a
8 form that I can readily extract. Like if I go to the
9 curves, I need to sort of develop what that assumption
10 is, rather than having in a table that, if this is the
11 dollar per megawatt hour cost, and this is the dollar
12 per kilowatt cost, or dollar per kilowatt year cost, but
13 it's not necessarily published in that level of
14 granularity, I have to go in and make the calculations,
15 and that can take away some of the credibility of the
16 work - if it's already published, I can point to it and
17 say, "This is on page 24, this is the dollar per
18 kilowatt hour cost."

19 MR. RHYNE: I see, so you mean the credibility
20 of the work built on this particular model? Or do you
21 mean the credibility of the model itself?

22 MS. CHAIT: Not the credibility of the model
23 itself, like I could go into the model and produce a
24 number of results, but it's more credible if I can go to
25 you report and say, "Oh, on page 32, this is the dollar

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 per kilowatt hour cost that is the result of dispatching
2 it at 30 percent," for example.

3 MR. RHYNE: Okay, thank you. Any other comments
4 or questions from the panelists or here in the room?

5 MR. SILSBEE: This is Carl Silsbee from Edison.
6 I'm feeling that there's a lot of common thinking here
7 and, when we get to our presentation this afternoon, I
8 think we'll talk about the dispatchability issues that
9 we have with the comparison of CT and CCGT, and I'll
10 leave that for this afternoon, but I did want to comment
11 that, while that may be a primary area of concern, there
12 are some secondary concerns, even within similar
13 renewable resources and we think there are some subtle
14 mis-ranking that now exists between solar and wind, for
15 instance, because they have different NQC values. And
16 what we've tried to do in some of the proposals we'll
17 make this afternoon is capture some of those
18 differences, as well as the dispatchability.

19 MR. RHYNE: Okay, thank you. Anymore questions
20 online?

21 MS. CHAIT: Can I respond to that really
22 quickly?

23 MR. RHYNE: Sure, go ahead.

24 MS. CHAIT: This kind of illustrative diagram
25 actually took into account the NQC values of each of

1 these resources, so there is a lower NQC for wind and
2 slightly higher for solar, and so on.

3 MR. RHYNE: Excellent, thank you. All right,
4 last call for questions. Okay, so we've reached that
5 rare instance where we are ahead of schedule as we head
6 towards the lunch hour. Considering the depth and
7 degree of conversation that I hope we achieve this
8 afternoon, I'm going to ask that we still hold ourselves
9 to a one-hour lunch. It is a quarter to 12 now. If we
10 could reconvene at a quarter to one and get started just
11 a few minutes earlier than originally intended, we can
12 go ahead and have a thorough discussion this afternoon
13 and hopefully get out of here, and if anyone has to
14 commute, from there beat traffic. With that, thank you
15 all very much and I will see you in an hour.

16 (Recess at 11:46 a.m.)

17 (Reconvene at 12:47 p.m.)

18 MR. RHYNE: All right, so our next presenter is
19 going to be doing so remotely. We're going to work out
20 just the logistics for a minute. I believe it is Mike
21 Mendelsohn. Mike, if you're listening in, if you're on
22 the phone, can you let us know? We're trying to unmute
23 and trying to find you on WebEx here.

24 MR. MENDELSON: Okay.

25 MR. RHYNE: There you are.

1 MR. MENDELSON: Can you hear me now?

2 MR. RHYNE: I can hear you.

3 MR. MENDELSON: Okay, great.

4 MR. RHYNE: I'm not sure which user you are, but
5 we've got you now.

6 MR. MENDELSON: Okay.

7 MR. RHYNE: Okay.

8 MR. MENDELSON: And so I'm going to have this
9 brief overview and then I'd like to open up the models.
10 I have them open on my machine. Or, if you have them, I
11 can use your machine.

12 MR. RHYNE: So what we're going to do is we're
13 going to transfer you presenter rights to our shared
14 desktop here, and I'm going to ask our tech guy here to
15 do so and give me the thumbs up when you're ready.

16 MR. MENDELSON: Okay, so I'll do the
17 presentation, as well. Can you see my screen?

18 MR. RHYNE: I cannot.

19 MR. MENDELSON: Shall we use your machine?

20 MR. RHYNE: Yeah. Gene, just a second, I'm
21 going to have you test. Okay, so you have presenter
22 rights, go ahead and try test moving the slides forward
23 and back.

24 MR. MENDELSON: It's not working right now.
25 What buttons would I use, page down?

1 MR. RHYNE: Page up, page down.

2 MR. MENDELSON: No.

3 MR. RHYNE: Okay, so what we can do is I can
4 advance the slides as necessary, I think.

5 MR. MENDELSON: Okay, and then how do you want
6 to handle going to the model, itself?

7 MR. RHYNE: Hold on a second. And which is the
8 model here?

9 MR. MENDELSON: It should say "CREST" if it's
10 loaded up. You could go to the website and grab it if
11 you want to.

12 MR. RHYNE: All right, so apologies to the folks
13 who are sitting through this, real quickly. What's your
14 site?

15 MR. MENDELSON: It is Finance - no www, just
16 financeRE.NREL.Gov. Yeah. And then if you click on
17 that main picture right there, and then go down to open
18 up CREST on solar, good. Okay, I'll just go back to the
19 presentation.

20 MR. RHYNE: Okay.

21 MR. MENDELSON: All right, thank you very much
22 for inviting me. My name is Michael Mendelsohn with
23 National Renewable Energy Laboratory. I'm going to be
24 discussing quickly the CREST model, Cost of Renewable
25 Energy Spreadsheet Tool, that was developed by

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 Sustainable Energy Advantage on behalf of NREL. And I'm
2 first going over some of the activities that our finance
3 team at NREL is undergoing and then it explains the
4 genesis of the details of the CREST model. You can move
5 forward. Great.

6 So our Finance Team is involved in three general
7 activities, first sort of collecting data and
8 information, developing tools and policy analysis that
9 helps to utilize our data, I hope those in the industry
10 evaluate renewable energy projects and understand some
11 of the concepts around project financing, and then
12 visualizing that data and policy analysis and tools so
13 that they're easily digestible. Next slide.

14 Among our data information activities, one of
15 our primary efforts, is the Renewable Energy Finance
16 Tracking Initiative. Here, we collect and aggregate
17 renewable energy finance-related data, cost equity, cost
18 of debt, the form of depreciation taken by technologies
19 and other factors, and make that available to the public
20 so that people can populate their models as effectively
21 as possible so they can get good output from their model
22 runs. Next slide.

23 We're also helping the SAM team, the System
24 Advisory Model, which they plan to present and will be
25 discussing, incorporate more complex financial

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 structures into the model, including sale leaseback as
2 pictured here, as well as partnership flips and
3 leveraged partnership flips. Next slide.

4 Some of the content that we're developing
5 include guide to geothermal power finance and other data
6 that's available for policymakers and new investors, new
7 developers, to get them acquainted with renewable energy
8 project development. Next slide, please. Next slide
9 again.

10 Some of the other content we make available
11 through either weekly blogs or what we call feature
12 analysis include evaluation of Dodd-Frank Regulations
13 and, again, looking at geothermal energy cost inputs,
14 tax equity situation in the markets, including
15 charitable organizations as part of your renewable
16 energy project finance development. So, we encourage
17 everybody to take a look. It's, again, our content is
18 available at this website, financeRE.nrel.gov, including
19 our tools, including the CREST models that I'm going to
20 present today. Next slide, please.

21 AS part of our visualization effort, we
22 developed this website, again, it's a very excellent
23 searchable website, where you can look for content and
24 using a wide variety of filters look at our activities,
25 including the blogs that we developed, as well as the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 tools that we make available. Next slide, please.

2 As part of the CREST models, Cost of Renewable
3 Energy Spreadsheet Tools, this was born from a
4 partnership that the Department of Energy has with the
5 NARUC. There was a need that we saw to develop sort of
6 a simple, yet robust tool that could be easily utilized
7 by the policymaking community. There are three CREST
8 tools developed to date, one for geothermal solar and
9 winds. We had three different sponsors from the
10 Department of Energy - I always want to thank our
11 sponsors for supporting our efforts, and that includes
12 within the Department of Energy the Geothermal Solar and
13 the EE Corporate Analysis Divisions. NREL hired Exeter
14 Associates to develop the models and Jason Gifford of
15 Sustainable Energy Advantage was sort of the primary
16 author and developer of the models, but the team also
17 included some members of Exeter Associations, as well as
18 the Meister Consulting Group. In developing the models,
19 we worked with several public utility commissions that
20 were part of sort of our development team, including the
21 PUCs of Colorado, Hawaii, Michigan, and Washington
22 State, so we'd like to thank those individuals for
23 helping us out. Next slide, please.

24 Some of the project objectives was really to
25 create a toolkit for cost-base rate setting in the U.S.,

1 it's not just the models, but there is also a detailed
2 report that should be out if not this week, then next,
3 looking at all the FIT policies across the country and
4 the models that are available, and doing a good analysis
5 of the pros and cons of each of those models. There is
6 also a User Manual for the models for ease of use. The
7 CREST models were one of the aspects of developing and
8 was to cherry pick the best features of other public
9 models, so we looked at essentially ease of use of the
10 RETI models and the models done in California, as well
11 as NREL's SAM, and tried to see what features would best
12 fit the policymaking community. We're trying to
13 balance, again, ease of use, but also provide a
14 relatively rich feature set. We also wanted to develop
15 models that didn't have any macros, weren't prone to
16 breaking or being misunderstood, something that was
17 pretty robust in its use, and also something that
18 provided immediate feedback on a wide variety of inputs
19 of concern. So, some of those inputs include size and
20 performance and capital costs, O&M, financing, ownership
21 and tax incentives, and reserves and depreciation. Some
22 of the constraints - it's not really constraint, but
23 it's more of something we highlight when, in developing
24 the models, is debt service coverage ratios, its minimum
25 and average DSER's are violated and we just put a big

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 red flag so that policymakers don't assume that projects
2 can take on a huge quantity of debt at low cost in order
3 to develop these projects. The basic outputs are the
4 Year One cost of energy, as well as the levelized cost
5 of energy. Next slide, please.

6 The CREST models are available and free to the
7 public at this link within the FinanceRE website, or we
8 encourage people to Google CREST model if it's confusing
9 to get to that hyperlink. The models are protected
10 outside of primary inputs, it's not an open source
11 model, and we did that to sort of protect the name of
12 NREL so that it doesn't look like we're supporting their
13 results of model runs that we couldn't really validate.
14 Right now, we're having trouble getting the MAC version
15 of our models working properly because of the protection
16 we've applied to them; that protection goes down to the
17 cell level and MAC versions of Excel don't allow cell
18 level protection right now, so we're trying to work
19 through that issue. Again, the user manual is available
20 and the analytic report is to come shortly. Next slide,
21 it should be the last slide.

22 Okay, so now if you could open up the model.
23 Thanks for your help with this. And I apologize to
24 everybody that he couldn't be there today, he was
25 looking forward to it, but we're under relatively strict

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 travel guidelines we're trying to follow. So there are
2 six tabs to the spreadsheet tool, this Introductions tab
3 can get you to the User Manual and the important
4 references, and give you a guideline to how to utilize
5 the model, and some of the basic backgrounds. Most of
6 the model, if you can go down a little bit further,
7 okay, we can go over to the Inputs tab, great, thanks,
8 so the user can select between photovoltaic and solar
9 thermal here in the solar model, all the yellow cells
10 indicate a dropdown menu is available underneath that
11 cell. The other cells in bold blue indicate an input
12 and the cells in sort of plain black text indicate an
13 output. Here at the cells that are green under the
14 check columns, that indicates whether or not you've
15 violated some sort of constraint on the input, whether
16 it's the input won't allow for a negative value, for
17 example, or a non-numeric value, so the model will let
18 you know if a value that's outside of relatively broad
19 guidelines. If you click on one of the question marks
20 in the Notes cells, these note cells are there to guide
21 the user to utilize - be able to understand what's
22 requested of you by the model, what kind of information
23 the model is looking for, and maybe give you hyperlinks
24 to useful reference points. All right, thanks.

25 Here, in this first primary box, we're looking

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 for project size and performance, what the capacity size
2 is, the conversion efficiency, and the capacity factor,
3 and production degradation. One of the key features of
4 the model was we're trying to - a lot of people look at
5 and come at the modeling approach in different ways, so
6 if you could click on that Intermediate yellow box under
7 Capital Costs, and you'll see that here we have three
8 different options within the Capital Cost input, and if
9 you could click on "Simple," then the user can
10 essentially utilize this simple level of capital cost
11 input and insert perhaps 475 or another value as a
12 signal value for the developer lot cost to develop their
13 project, or, if you could go back to Intermediate, then
14 there are four different levels of input data within
15 Intermediate here, Generation, Balance a Plan,
16 Interconnection, Development Cost, so we make that
17 available so that users can approach the problem as they
18 see fit. If you get a pound [#] and an "A" like that
19 here, that's because you just need to recalculate the
20 model, there might be some reason, so if you hit F9 once
21 or twice, then the model will resolve itself. If it's
22 because there are no macros, sometimes you have to hit
23 F9 to let the model recalculate.

24 There is also an opportunity to put any far more
25 complex inputs under the Complex Inputs tab, is our box

1 is here so that you can put in a wide array of line
2 items for the form primary items that were back on the
3 inputs page, generation equipment and balance a plan, or
4 what have you. You can click on this hyperlink to go
5 back to the inputs worksheet. There are hyperlinks
6 within the spreadsheet that allow you to go between tabs
7 toward the specific table, allowing quick input of
8 detailed information if you so choose. Scroll down a
9 little bit.

10 Here, again, up a little bit, yeah, a little bit
11 more, okay great. This next box is on O&M, Operation
12 and Maintenance. And, again, the user can select
13 between different levels of input detail. You could
14 start from the intermediate drop down box there and go
15 to simple. So, here, the user can select between - or
16 input Fixed and O&M Expenses quickly - I'm sorry, Fixed
17 O&M or Variable and other expenses. There is also an
18 opportunity for essentially a single elbow, or two
19 periods within the O&M inflation analysis, so you can
20 select perhaps a two percent inflation rate for O&M up
21 through the end of Year 10, or a different variable, but
22 allowing for two components of O&M Cost Inflation in
23 your forecasting process. And if you would go to the
24 Intermediate level of O&M detail. Great, thanks.

25 And here, if the user chooses, besides fixing

1 the variable, you can also incorporate insurance,
2 project management, property tax, or pilot, land lease
3 and royalties, so an additional level of detail that you
4 can provide on your O&M as necessary.

5 Here in the next box are construction finance.
6 If you selected this simple level of capital cost up
7 above, then - yeah, if you go to "Simple" there, you'll
8 see down in the Construction Finance, that blanks out
9 because essentially we're saying it's only going to cost
10 475 on an installed basis. But if you choose
11 intermediate or a more detailed level of inputs for your
12 capital costs, then there's an opportunity to forecast,
13 if you press F9, it should open up again, hopefully -
14 yeah, I guess that didn't take for me, great. If you go
15 back up, yeah, there under Construction Finance, you can
16 input the tiered in months and the interest rate under
17 construction finance. Here within the permanent
18 financing section, you can look at your percent debt and
19 your debt tenor and the interest rate on that debt.
20 There is also an opportunity to put in the lender's fee
21 because that can be a very relevant cost. Here, we have
22 three percent of a lender's fee for the debt associated
23 with the project. As I mentioned, we put in pretty big
24 flags for debt service coverage ratio. If you can
25 increase the percent debt up to 70 percent or something

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 like that, in this first box, yeah. Sixty, that should
2 get the job done, and then hit F9, okay, yeah, that
3 might not work, great, thanks. And if you hit F9, the
4 model will recalculate, you see that the model is
5 indicating that you've failed the minimum and average
6 debt service coverage ratios, so we made this as sort of
7 a critical feature because we think that's something
8 that happens in the policymaking world, that you could
9 just load up - there is an assumption that you could
10 just load up with the cheap debt, so we really wanted to
11 highlight that aspect and that sort of forces the user
12 to put it in a lower, more reasonable level of debt into
13 their projects, to make sure that those minimum and
14 average debt service coverage ratio constraints are
15 followed. If you want to change that back to 40, that
16 would be great.

17 There are detailed notes. Great, thanks. Here
18 just below in the third to last cell in this box, we
19 have the target equity IRR currently set at 15 percent.
20 The equity IRR, we're really drawing on how much cash is
21 flowing to the project. If you wanted to load up more
22 debt, for example, they'll let you pass your debt
23 service coverage ratio constraints, what you really have
24 to do is increase your equity IRR to a lot more cash
25 into the project and that will allow taking on the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 higher debt percentage. So those two things are highly
2 related within the model development. If we can go down
3 a little bit? Great, thanks. This next box is just
4 sort of an output of how much debt and equity is
5 involved in the project, just to give the user a better
6 sense of where the source of funds is. Here in the
7 final box on this left side, we're just asking is the
8 owner a taxable entity, you know, can he take advantage
9 of the tax credits that are currently available,
10 including depreciation benefits, what the Federal and
11 State income tax rate is, and whether the tax benefits
12 can be utilized as generated, or only as the project can
13 utilize them on a cash basis. So, if you pull down that
14 "As Generated?" That asks the user if the cash benefits
15 should be carried forward as generated. Generally, with
16 a tax equity investor, we're assuming that the tax
17 benefits can be utilized as generated, that the tax
18 equity partner only got involved because they had a tax
19 liability somewhere else on their balance sheet. But
20 that's the idea there, is it strictly at the project
21 basis? Or is there a tax equity investor that can
22 utilize the tax benefits outside of this particular
23 project? If you could go up to the right? I apologize
24 for going a little long. The idea here on this top box
25 is to understand, if there is - if the project will

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 outlive the Feed-in tariff, and here, if you put in 20
2 years for that Feed-in tariff, then this other box will
3 open up and the user can input what the market base
4 revenues are expected to be beyond the duration of the
5 Feed-in tariff, that's the idea there. Just below in
6 these next set of boxes, we have Federal and State tax
7 incentives. If you can go to the cost-based pull-down,
8 the top of that Federal Incentives there, you can define
9 whether it's a cost-based or performance-based, it's
10 like the performance base - great - you'll see that this
11 bottom set of rows will open up, asking you more detail
12 about the performance-based Federal incentives, and if
13 you can go back to the Cost-based, you'll see only the
14 top set of rows will open up, asking you if it's cash,
15 grant, or if it's a tax credit type of incentive, and
16 then how much can be utilized. The N/A is there again
17 because the model needs to be recalculated.

18 So, we kind of see the model as similar to the
19 RETI model, it's in that - it was completed with no
20 macros and supposedly - supposed to be relatively
21 concise and easy to understand for someone who doesn't
22 need a bank quality financial analysis, but that wants
23 to do something quick and dirty, but perhaps a little
24 bit more than RETI, and that you have a lot more
25 opportunity to put additional detail into your project

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 model. Here down below in the Fee Incentives, there is
2 a very similar input here where you can put in either
3 State or Utility-based tax incentives or cash. Here,
4 it's offering you whether the incentives are cost-based
5 or performance-based, and if you select on performance-
6 based, you'll see that the bottom set of rows will open
7 up and it's asking you - the model is asking you if
8 those are tax credit incentives or cash incentives, and
9 then some of the detail about that. We can go down now
10 to the next box. Here on Capital Expenditure during
11 Operations, there's a replacement such as inverter
12 replacements, you have the opportunity to put that in,
13 and then reserves funding from operations for
14 intermissioning reserve, you can select between whether
15 that's paid for out of operations, or it's expected to
16 be paid for from the salvage value of that equipment.
17 And here, just below that, there's an opportunity to
18 specify what the debt service and O&M reserve, what the
19 capital reserves represent on a monthly basis, whether
20 it's six months of expected expenditures, sort of a
21 normal input. Then, we have the opportunity for
22 depreciation explanation, whether the depreciation has a
23 bonus quality to it, and what percentage of it is
24 allowed by bonus, and then you could specify within the
25 four primary categories of your investment whether

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that's on a five-year MACRS or other depreciation
2 category, you can define whether it's 100 percent, how
3 those are broken out. And if we could go to Summary
4 Results on the next tab? All the results are indicated
5 here. We don't have a very sophisticated Results page,
6 we're going to make some improvements probably to this
7 section in our next version, but essentially this will
8 give you the Year One Cost of Energy and the LCOE, as
9 well as some of the primary inputs that were utilized in
10 that run. So, you could grab those cells, essentially,
11 and copy and paste them as values, and then put a name
12 over - yeah, if you could just grab those cells right
13 there and then copy and paste that there? Yeah, and you
14 could even grab all the way down to the bottom of that,
15 okay, thanks, and then name that scenario and then
16 adjust your assumptions and do the same. It's not very
17 sophisticated, just time frame - we're trying to, again,
18 limit how complex the model is to really specify the
19 ease of use.

20 If we can go over to the next tab, Annual Cash
21 Flows and Returns, this is sort of a very quick look at
22 the project cash flows on a year-by-year basis. Here we
23 see - you might have the tariffs or market value of the
24 power, the total revenue, operating expenses, debt
25 service, you know, primary output of cash flows,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 including tax benefits and liabilities, the Federal and
2 State basis. If you can go down a little bit on this
3 page? There are some primary graphic output here,
4 including cumulative cash flow on the left, and revenue
5 and tax benefits and liability vs. expenses and cash
6 obligations on the right. So that's sort of a primary
7 output of the model and those come from the data
8 provided above, as well as some rows to the right, or
9 columns to the right, of what we're just looking at. If
10 you can go to the next tab, this is more detailed cash
11 flow where we can really see the waterfall of revenues
12 and expenses and get a really good handle on how the
13 project is operating on a year-by-year basis. If you go
14 all the way down, in order to develop a model without
15 any macros, we sort of borrowed from Black & Veatch's
16 sort of those hidden data tables that worked so well,
17 and that's here at the very bottom where - yeah, right
18 there where it says "MPV," so the model essentially is
19 solving for when the results turn from negative to
20 positive, and then brings up an order of magnitude to
21 solve between 45 and 46 cents, and then one more to the
22 right to solve between a 45.6 and 45.7 cents per Kwh, so
23 it's taking that and continually moves up an order of
24 magnitude so you can get a finer detail on solving the
25 LCOE without use of macros, kind of a nifty little tool.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 And then, here in the complex inputs at the last tab, I
2 should have showed this quickly before, but if you had
3 selected the complex inputs on the first inputs tab,
4 then you could put detailed information under generation
5 equipment and indicate the eligibility for the IGC and
6 the depreciation classification, so you could go to the
7 left a little bit, if you go to "Complex" there where it
8 says "Intermediate", click on that pulldown where it
9 says "Intermediate." Go to Complex. And then there's a
10 hyperlink here, click Complex Input Worksheet, see the
11 hyperlink at the bottom of these blank cells on the
12 left? Yeah, so that will take you right to this sheet,
13 or you could always click on the tab itself. And then
14 you have the opportunity to put details, generation
15 equipment information here, including this - you could
16 select the depreciation classification on the right for
17 any single line item. Right, perfect. And if you go
18 down just a little bit on this page, you could see that
19 we have similar opportunity to put the balance of plan
20 information here and then develop it a little bit
21 further, this is either connection information,
22 substation, transformer, so really a lot of opportunity
23 to put very detailed information there if that's what
24 the user is looking to do, development costs and fees,
25 and then there should be some sort of financing and then

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 there's more detailed information for - and this table
2 here is just sort of summarizing everything that is
3 going on above, so it's all on a single page. Great.

4 So that is the solar model, but we don't have
5 all our technologies on a single model. The wind model
6 is very similar, as you can imagine. The geothermal
7 model, because geothermal development is so unique, with
8 our exploratory well development and depletion of the
9 resource, as well as heat rate degradation, there's very
10 specific inputs that are fine tuned for geothermal
11 development, as well as classification of the depletion
12 allowance and the like, so if you're interested in that,
13 I would encourage you to pick up that model and take a
14 look at it. And that's all I have for now, if there are
15 any questions that you have.

16 MR. RHYNE: Thank you. So this is Ivan Rhyne
17 again. I wanted to ask, and I appreciate the time you
18 took to go through the model itself, it looks like you
19 kind of had to make some tradeoffs, or you chose to make
20 some tradeoffs with regard to simplicity vs.
21 completeness, although you do have quite a bit of room
22 for additional information there in the model. But what
23 I don't quite see, and perhaps I missed it, you built a
24 lot of default values in there with regard to solar.
25 Where are you pulling those default values from? What's

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 your primary source of input for the choices you make
2 with regard to those?

3 MR. MENDELSON: Right. For these default
4 values, we really just relied on the model development
5 team to put in reasonable default values for this
6 version, so it was more of a consensus on what's
7 necessary by the development community that we relied
8 on, including the subcontractors, but then the results
9 are like a team of evaluators that helps look at the
10 model. And I think Ryan was also involved in looking at
11 it. So, yeah, I mean, the defaults are reasonable, but
12 they're not fine tuned to be very exact; we're hoping
13 that people will have some forethought in evaluating
14 those and making them relevant to the project.

15 MR. RHYNE: Okay, thank you. Any other
16 questions here in the room?

17 MS. CHAIT: Would you consider releasing a
18 version of the model without protection?

19 MR. MENDELSON: You know, we're discussing it
20 now. It would make our lives easier in some ways and
21 harder in others. But we want to get rid of the MAC
22 incompatibility issues and I get asked that question
23 pretty much every time I present the model, so far. So,
24 we recognize there's a desire for that, but to date we
25 haven't - we're looking at that policy.

1 MR. RHYNE: Okay, any other questions here in
2 the room? Any questions online? Okay, so having no
3 questions in the room or online, thank you again for the
4 presentation. I'm under the impression you're going to
5 hang around and join us again in just a little while for
6 the panel discussion. Until then, our next presenter is
7 also going to be presenting remotely and he is Nate
8 Blair, and if we can unmute Nate? Nate, if you're
9 online, if you'll just start talking and make sure we
10 can hear you.

11 MR. BLAIR: Hi, this is Nate.

12 MR. RHYNE: Here we do, we can hear you. Thank
13 you. And I think we're going to have to work with the
14 same kind of structure as before, we have somebody here
15 who can click to the slides, so if you just want to give
16 us the cue when you want to go to the next slide, we'll
17 do so, and take it away.

18 MR. BLAIR: Okay, that's great. And
19 unfortunately, my model, I don't think you can download
20 it in a few seconds like Mike's, so I'll try to talk you
21 through how cool it looks once we get to the demo part.

22 First of all, I'm Nate Blair, I've been at NREL
23 about nine or 10 years and have been doing a lot of
24 system simulation and software modeling throughout my
25 time at NREL and before that, and I stand here as part

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 of a much larger team, of course. Next slide, please.

2 So, SAM, as we call it, used to be called the
3 Solar Advisor Model, and we now call it the System
4 Advisor Model because we've added several non-solar
5 technologies which we'll get to in a little bit. It's a
6 computer program that calculates the performance of a
7 model, the hourly energy output, typically, and then
8 calculates the cost of energy. So, we're really sort of
9 combining a lot of engineering with a lot of finance,
10 and that leads to some really exciting capabilities, but
11 also leads to some interesting challenges, which we'll
12 talk about as we go through this.

13 And so, really, we're sort of combining in broad
14 strokes detailed performance models and detailed cash
15 flow finance model, and real [inaudible] models, and
16 then reasonable default values for each technology and
17 target market. Next slide, please.

18 So model solar, and by "solar," we mean PV and
19 CSP and for concentrated solar power right now, we have
20 performance models for troughs, towers, distilling, and
21 we have sort of a generic optical model which is a
22 little more of an R&D tool, and then wind and geothermal
23 are new sort of recent additions and, with that, you
24 know, one of the things you can do with SAM is - and
25 part of the real justification behind building SAM is

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that a lot of times a researcher at a national lab does
2 a whole lot of work, comes up with a great algorithm,
3 and writes it up in a nice paper and goes to a
4 conference and reports on it, and then it goes on to a
5 bookshelf, meaning that industry has to then find that
6 bookshelf, get that algorithm, implement it probably in
7 Excel, etc., and then how do you check it, how do you
8 validate it, how do you work with National Labs to get
9 the data you need out of the algorithm, etc.? And so
10 we're trying to cross that bridge for people, both for
11 the R&D community and the industry.

12 And so once you've got SAM, one of the things
13 you can do, that people do a lot, is really evaluate and
14 compare options. So, a lot of today's conversation has
15 been about whether or not you have the right number. A
16 lot of our conversations are about we think we have the
17 best numbers we can get, and then how do they compare
18 with you implement such and such change, either to the
19 system itself, or to the finances, or to the cost. And,
20 in the end, you can get to LCOE impacts, MPV impacts,
21 payback, and perform parametric and uncertainty now
22 since we have a lot of what if sort of capabilities, and
23 we do a lot of graphing and tables which you'll see in a
24 few minutes. Next, please.

25 So, again, we have PV and, contrary to solar

1 power, I mentioned trough towers and distilling, one
2 thing I didn't mention is we have some limited
3 capabilities with CPV, Concentrating PV, which, kind of
4 depending on who you are, falls into one of those two
5 buckets, and next year we're going to be trying to work
6 on more detailed modeling of CPV systems. Solar water
7 heating, we have a number of capabilities in there,
8 mostly residential and commercial scale solar water
9 heating. We aren't really talking about major
10 industrial scale analysis.

11 Wind turbines and farms, we have three basic
12 modes in the wind area, one is something that the
13 research team at NREL uses called the Wind Turbine
14 Design Model, which allows you to do tradeoffs between
15 costs and longer, say, blade length and the resulting
16 cost, and that ties directly to a detailed Excel cost
17 model that NREL developed. And we have an hourly small
18 scale wind model with a small scale wind turbine
19 library, performance library with power curves, and we
20 just released a new version utility scale hourly wind
21 model, as well, and we can talk more about that if
22 people have questions.

23 Moving to geothermal, we've worked with
24 researchers at Idaho National Lab and DOE to implement a
25 spreadsheet model called GETEM into SAM, which actually

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 does a monthly calculation for 30 years of either
2 hydrothermal or geothermal systems, and then,
3 additionally, we've been doing - lately, we just
4 released probably a less widely usable model, but
5 something called Co-Production where you have low
6 temperature hydrothermal resource mixed with oil and gas
7 wells. And then, on the market side, we really try to
8 get at everyone, and, again, this comes out of our
9 history as a solar model because PV obviously competes
10 in the residential, commercial, and utility scale
11 markets, and each of those markets has unique
12 assumptions and unique needs that we tackle all three of
13 those markets when they're appropriate. Obviously,
14 geothermal power plants aren't appropriate at the
15 residential and commercial scale, and likewise most CSP
16 is not appropriate at anything but utility scale.
17 Installation operating costs, cost is a big piece of
18 what we have, incentives is a big part of what we do,
19 obviously it's very important for renewables, and then,
20 recently, we've really been working a lot on utility
21 rates as one of our other key features and we at NREL
22 have a public utility rate database which we are
23 continuing to develop and hoping that utility industry
24 also contributes rates that are machine readable and
25 quantitative in nature, so we can access those, but it's

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 particularly important for residential and commercial
2 scale PV, solar, water heating, and small scale wind.
3 The key output, as I mentioned, our LCOE payback, MPV,
4 cash flow, and debt kind of on the financial side, and
5 obviously on the production side, the key outputs are
6 really the total energy production, the capacity factor,
7 the annual energy production. Next slide, please.

8 Background - we started working on SAM in 2004,
9 again, exclusively for the DOE Solar Program. It
10 originally started as an internal planning tool for DOE,
11 they had a lot of sort of apples and oranges analysis
12 coming at them, depending on which technology they were
13 looking at, so inconsistent assumptions, inconsistent
14 cost analysis, and they wanted a common platform to look
15 at, how best to invest.

16 MR. RHYNE: Can you hold on a second, Nate? We
17 lost audio here in the room. We're going to reconnect.

18 MR. ALVARADO: Hi, Nate. I think we lost you
19 for a moment.

20 MR. RHYNE: There we go.

21 MR. BLAIR: Oh, sorry. I haven't moved, I
22 promise. Are we back on?

23 MR. ALVARADO: Yeah, I think we're back on and I
24 think you were just talking about really just starting
25 your background slide.

1 MR. BLAIR: Oh, okay, thank you. This has been
2 jointly developed by DOE, we have a team at NREL, we
3 also work closely with Sandia National Labs, and what I
4 was saying is that, back in 2004, the tool was
5 originally designed as an R&D planning tool for DOE to
6 help them have consistency across all the solar
7 programs, and really provide that to them, and then in
8 the interim, we've added these other goals of kind of
9 leveraging what the labs are doing in a platform that
10 industry can readily use. Next slide. Thank you.

11 We also work with a number of other groups,
12 including the CEC, I'll point out, and the CEC has a PV
13 model and a PV Module Library that we leverage in SAM,
14 and they also work with the University of Wisconsin, as
15 do we, for PV Modeling. We work with the University of
16 Wisconsin also to help evolve our CST Models, many of
17 which we've had developed for SAM, specifically, because
18 they didn't exist, or didn't exist in the detail and
19 formats that we wanted. I mentioned that we work
20 closely with Sandia and we use a number of their models,
21 and then we've worked with a number of groups. Most
22 recently, Deacon Harbor Financial and, Mike, who just
23 spoke, and our team, have worked very hard on the new
24 version and detailed project finance models that are now
25 in SAM. Next slide, please.

Comment [Kc1]:

Comment [Kc2R1]:

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 So, who is SAM used? We've had - I think that
2 number is actually a little low now, we've had about
3 25,000 downloads by individual email addresses, we don't
4 track all the individuals, but primarily from
5 manufacturing firms, engineering firms, consultants,
6 energy developers, venture capitalists, policy analysts,
7 and it should say utilities, also, on that list. We've
8 got a number of primary uses and these come from user
9 surveys that we've done, feasibility studies,
10 benchmarking for other models, often kind of private
11 non-public models that people want to kind of benchmark
12 against. We've got a number of R&D activities, both
13 within NREL, and at universities and engineering firms
14 looking at various engineering and finance factors,
15 plant acceptance testing for parabolic trough systems,
16 it's more of an issue so far in Spain, but as more CSP
17 systems get built in the U.S., they have the nice
18 neutral third-party model that most people can't agree
19 upon. And then, as I said, sort of the very initial use
20 of SAM was by the DOE to really look at technology
21 research opportunities and grant proposals. When we
22 turn in our plans to the Department of Energy, they
23 often will ask, "Well, what does this do? If we do this
24 research, what does this do to the LCOE of trough
25 technology, for example?" And you say, "Well, I've run

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 Sam and I think if we do this research and we get this
2 improvement in performance or capacity factors, we'll
3 get this reduction in LCOE." Next slide, please.

4 So, again, in sort of half the model, it's all
5 about predicting the system energy output, as the annual
6 scale monthly scale and hourly scale, and we have these
7 automatic graphing and outputs that are available within
8 SAM to look at all this information. In some sense,
9 when you're doing a detailed hourly model of a complex
10 system, you can be hit by sort of information overload,
11 unfortunately. So that's about - and a lot of people
12 just use SAM for the engineering aspects. Next slide,
13 please.

14 And then what we can do with SAM is look at
15 Parametrics, so in this case we have a parametric around
16 the orientation, across the bottom, and then across
17 different locations, as you see by the three graphs, and
18 all of this is handled automatically without SAM, if
19 you'll just push the green GO button. You'll see,
20 actually, this is looking at the optimal array tilt and
21 azimuth angles for a small residential PV system.
22 You'll see that almost none of them have - I guess
23 Arizona is pretty close to zero, pointing straight
24 south, but in the other two cases, Boulder and Los
25 Angeles, you don't necessarily want to point your PV

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 system straight south. For Boulder, you want to orient
2 it slightly eastward because, in the summer, you have
3 afternoon thunderstorms over the mountains pretty
4 systematically and, then, in Los Angeles, you want to
5 orient the array slightly westward to minimize the
6 impacts of morning fog, so there are some interesting
7 things. For Phoenix, there is nothing going on in
8 Phoenix, so pretty much straight south. Next slide,
9 please.

10 And then this is some of the work that gets done
11 in looking at box impacts. This is for a Power Tower
12 example with six hours of storage. If you decrease the
13 tower height by 15 meters, that decrease the
14 installation cost by 2.5 percent, which you can see in
15 the upper left box. And what's the impact of that on
16 the LCOE? And it reduces the LCOE by four percent, so
17 obviously these impacts are non-linear and this is the
18 type of parametric analysis that you can look at very
19 quickly in SAM. Next slide, please.

20 And then we do a lot with uncertainty analysis
21 and it's kind of an area where we're growing, now that
22 people feel more confident on their kind of general LCOE
23 numbers, the next question is, well, what's the
24 uncertainty around all these LCOE values. And so, in
25 SAM, you can do what we call the tornado analysis, their

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 sensitivity analysis, and this shows the sensitivity
2 analysis, and this shows the LCOEs most sensitive to
3 collector cost, for example, in this example. And then,
4 in the lower right corner, you can see the outputs from
5 our Monte Carlo-type analysis, and again here you can
6 input values and distributions around any of the input
7 values, both engineering inputs and financial inputs,
8 and look at the impact on the LCOE in terms of the
9 spread of LCOEs across as a result of all the
10 distribution. Next slide, please.

11 So this slide gets a little bit busy, but I sort
12 of threw it in just to sort of show how things are
13 broken up. We basically in the middle, we have this
14 circle called SAMSIM, and that's really the core of what
15 SAM is, that's where the hourly simulation happens,
16 that's where all the cash flow analysis happens. From
17 that, you can access just the SAMSIN work and then,
18 around that is all of the SAM interface and, so, on the
19 left side are all the inputs, finance, cost, tax
20 credits, site location, and whether component
21 parameters, simulation configuration, and then on the
22 right are all the different outputs which we've spoken
23 about and links to - we have a separate tool that really
24 does the hourly data viewing, at least at this point.
25 We can interact with Excel quite a bit, both in terms of

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 outputting the outputs to Excel or, also, interacting
2 between inputs in Excel, and we'll probably go into that
3 right now. But I think what the message I wanted to
4 convey with this slide was to say that there is a lot
5 going on and a lot is required, and I think that's why
6 our default values are so important that we use. We can
7 talk more about that in discussion, but I think that's a
8 critical piece. Next slide, please.

9 Extending SAM - you can use SAM through the
10 interface, or you can use it behind Excel or behind
11 Matlab, you can script the use of SAM and so that's
12 where you just call indirectly to SAM, and the SAM
13 interface will actually output all the necessary code
14 that you need to run a particular example, in either
15 VBA, Matlab, Python, or C. And I think this is really a
16 helpful way, not everybody wants to do their analysis
17 within the SAM interface, and this allows them to do
18 most of their analysis in Excel and just call out to SAM
19 as needed. Secondly, we have a scripting language
20 within SAM, so if you are doing something our research
21 teams at NREL often will run 1,200 weather files for all
22 the U.S. at various tilts and azimuth to look at a whole
23 suite of PV possibilities for the country, and so you
24 don't want to do that one at a time, obviously, and so
25 our scripting language is helpful for that. Next slide,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 please.

2 And this is just a quick example of using our
3 scripted language. We've got a request, I think it was
4 from BOE, to look at 30 GSA buildings with PV and try to
5 roughly calculate the LCOE in the annual system output.
6 And we had some basic numbers in terms of the size of
7 the system and location of the system, and instead of
8 running all these separately, which we could have also
9 done, but that would have been a little bit error prone,
10 there was a short script written, it's mostly on the
11 right-hand side there, which ticks off the weather
12 location, the D rate, the tilt cost, and the type of
13 module, and runs that for each of those locations at
14 once. Next slide, please.

15 So how do you get SAM? We have a website at
16 www.nrel.gov/analysis/SAM, and it's free to download,
17 all we ask for is your credit card number - just kidding
18 - but we do ask just for your name and your email
19 address so that we can let you know if we find - if we
20 issue updates, as we did last week, or if we have some
21 bugs that have been found, or we also use that email
22 list to do occasional surveys of the users and talk
23 about what we think the next things to add are, and get
24 that feedback. Next slide.

25 So a few more questions in the guidance from the

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 workshop that weren't - that I wasn't sure I had
2 addressed in the slides, one of which was do you add
3 environmental implications and benefits. The answer is
4 really not at this time, they could be calculated,
5 obviously, outside the model and added in. We've had a
6 few discussions with user groups that want to look at
7 calculating the avoided carbon by location, so you'd
8 have to figure out what is the source of the electricity
9 in that location, what's the mix, and what are you
10 offsetting, and obviously to do that hour by hour, so
11 that, you know, wind which blows more at night than PV
12 during the day, offsets a different mix of generators
13 than PV does. So far, we haven't moved forward on that,
14 but that might happen in the future.

15 What's the source of the cost driver, the
16 escalation assumptions, and generation characterization?
17 So, as I think everybody has mentioned, this is a
18 difficult area to get information, we generally - in the
19 early days we worked with NREL experts and BOE experts
20 to come up with default values that we thought were
21 appropriate. I think that the general Federal cost
22 modeling has gotten more robust and, especially for PV
23 and CSP, we now go to NREL experts, but they often have
24 a recently published document, or in conjunction with,
25 say, Black and Veatch, and Ryan's group, who spoke

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 earlier, we can get these default values. And we update
2 them with each release which is usually about twice
3 annually, so we usually do a release sort of in the
4 springtime which we did just last week, and then one
5 sort of at the end of this fiscal year, so September,
6 October time frame. We don't include anything about
7 future projections. You can obviously use SAM to do
8 what's today and what does the future look like,
9 especially in separate cases, but we don't have any
10 default values for the future. And, well, real-world
11 LCOEs are subject to a variety of impacts. The
12 comparison efforts to date have shown good agreement
13 between SAM and expected or current known LCOEs in the
14 marketplace. Obviously, published documents that we use
15 get a lot of our cost data, and some of our performance
16 data, those often will calculate an LCOE and we'll
17 compare it to that. It is often difficult to get cost
18 data, especially as you get to utility scale systems,
19 but we have a number of initiatives at NREL to look at
20 residential and commercial scale PV costs and costs at
21 other times and other periods - I'm sorry, further
22 technology - sorry, my computer was giving me a message.
23 Next slide, please.

24 And here, I don't know if you can give me
25 control, I have SAM up on my laptop, is that possible?

1 I think you were trying that with Mike and it didn't
2 work, but...

3 MR. RHYNE: Yeah, I don't think we're going to
4 be able to do that today.

5 MR. BLAIR: Oh, okay.

6 MR. RHYNE: And that's fine, you know, I really
7 appreciate what you've presented thus far. I think
8 we're more interested in the thinking behind the model
9 than the specific functionality of the model, itself,
10 today.

11 MR. BLAIR: Okay, sure. Great. Are there any
12 questions?

13 MR. RHYNE: Any questions here in the room?

14 MR. KUBASSEK: Hi, this is Jason Kubassek with
15 Edison. My question is if you've done any benchmarking
16 between the hourly data and using an annual assumption,
17 which we typically use here. And is it more - what's
18 the added value of doing an hourly simulation vs. making
19 an annual assumption?

20 MR. BLAIR: Well, I think there's a couple of
21 values and we have done benchmarking, we often will
22 compare the sort of annual output and the annual
23 capacity factor against other published sources and we
24 get good agreement, obviously, the trick is in the input
25 files and the D rates and whatever else you want to do

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 to tweak the model, but that's where I think our default
2 values are representative of typical systems, but one of
3 the reasons that we do hourly modeling is that, from the
4 very beginning, people wanted to look at -- especially
5 for CSP -- you know the impact of time of day dispatch
6 and time of day production, and so if you can, say
7 you're in Phoenix, if you can produce power later in the
8 evening when it's more valuable and when the air-
9 conditioning load is the highest, that's going to get
10 you significantly higher value. Obviously, the LTOE is
11 going to be the same, but your net present value will
12 change significantly if you can get into that kind of
13 late afternoon peak period. So that's one aspect. The
14 other aspect is that, for hourly modeling at the
15 residential and commercial scale, if you're looking at
16 trying to think about different utility rates or
17 different utility or potential utility rates, even, you
18 know, obviously you need to know when during the day the
19 system is producing power.

20 MR. MCCANN: This is Richard McCann with Aspen.
21 Just to follow-up on that, so you had this chart that
22 showed the configuration of the optimized design
23 parameters, I think it is Chart 9, that shows the
24 orientation of these optimal solar array. Does this
25 optimize for energy output, or - it sounded like it

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 optimized for energy output, but can you optimize for
2 value, then? Is that what you're seeing within the
3 model?

4 MR. BLAIR: Yeah, I think it says that you can
5 optimize design parameters and, in this case, what it's
6 really doing is just a parametric in order to get that
7 graph. We do have a min-max kind of optimization and
8 you can minimize LCOE, or maximize MPV, and let various
9 inputs adjust. We find that that's useful for
10 relatively simple analyses; when it gets to be more
11 complex, you'd probably want to start doing sensitivity
12 runs and some more kind of type of parametric analysis,
13 instead. But, you can optimize on the MPV. Does that
14 answer your question?

15 MR. RHYNE: Yeah, I think so, he's shaking his
16 head. So, this is Ivan Rhyne again. So, you walked
17 through some really interesting functionalities and, you
18 know, presented the overall approach. I'm curious if
19 there's anything in particular, any areas, where you
20 would caution end users against not attempting to use
21 your model for anything, specifically?

22 MR. BLAIR: Oh, I think, you know, as I was
23 saying before, we do our best with the default values,
24 but obviously the - well, U.S. national averages, and so
25 I think one of the problems, one of the areas we get

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 into as we see analyses done either at NREL or by non-
2 NREL people that said, "Well, we used SAM and this is
3 what SAM told us the answer is." And we say, "Well,
4 okay, that's fine," you really need to be thinking hard
5 about your inputs and your input values, so I think
6 that's fine, I think we don't want people to be doing -
7 I think SAM is great with our new finance model, it gets
8 quite a bit further down the road in terms of being able
9 to provide robust outputs for various financial
10 structures, but, again, at some point obviously before
11 you're going to want to build a system, you're going to
12 want to go to an actual financial consultant and
13 financial officer to really do some detailed performance
14 for you.

15 MR. RHYNE: And so then, as a follow-up on that,
16 I'm kind of inferring from your statement that this is
17 almost better used as a comparative model between types,
18 rather than an objective, here is what the number - here
19 is what the cost is. Would that be a fair statement?

20 MR. BLAIR: I think that's right. I think, 1)
21 we require kind of a higher level of expertise from the
22 user base that, you know, we are providing default
23 values so that, if you really - the goal of those is,
24 really, if you care about the engineering analysis, but
25 you want to get to an LCOE, the numbers in the financial

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 input pages are going to be appropriate enough that
2 you're not out in left field, but if you're really
3 trying to get to, "Hey, here's the final LTOE for this
4 precise location," you really need to be able to look at
5 all those numbers and say, "Yeah, I feel comfortable
6 with all those numbers," rather than saying, "This is
7 what SAM has for a default, so it must be the best
8 number." And I think you're right in saying that we see
9 this tool as being one where you're comparing between
10 options, and often those options are fairly detailed.
11 We do have people that are using it and saying, "Hey,
12 this is the number for this system and this location,"
13 but those people - we expect a level of both engineering
14 and, I guess, financial capabilities. I think out of
15 the box it's more appropriate for comparisons between
16 system choice options.

17 MR. RHYNE: Okay, and then just a final
18 question. Obviously, the SAM model is focused on
19 renewables, started out with solar, and it has been
20 expanded since then. Where you and your organization
21 may occasionally have to look at non-renewables, do you
22 have fallbacks in terms of cost estimates, places that
23 you go for that information? Or kind of concerns about
24 models that attempt to compare renewable to non-
25 renewable technologies?

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 MR. BLAIR: Yeah, I actually was one of the
2 modelers that worked on that 20 percent wind by 2030.
3 I'm sure Ryan remembers, as well. And, again, here the
4 question is apples and oranges, are you going to one
5 source for your renewable cost numbers and performance
6 numbers, and a different source for your conventional
7 numbers? And are they taking into account sort of the
8 same things? Two comments, one is that we do actually
9 have a generic fossil model in SAM which allows you to
10 either calculate just using an annual production or
11 capacity factor, and availability numbers, and then you
12 can use any of the detailed SAM financial models along
13 with it. We do have that capability because we actually
14 got feedback from users that they wanted to compare what
15 they're getting for solar systems to what they want to -
16 they want to compare it to gas plants, for example,
17 using the same financial assumptions to see how they all
18 compare it, but I think that typically we will go to a
19 variety of sources. We actually built something called
20 a cost data page and NREL, which is fairly high level
21 and fairly simple, based on publicly available cost
22 data, and I sympathize with everybody else on getting
23 these numbers, especially for technologies like PV which
24 is very fast moving in terms of cost. But we often will
25 go to the EIA, you know, and Black and Veatch, and other

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 organizations to get conventional cost data.

2 MR. RHYNE: Okay, thank you very much. Are
3 there any questions from online participants? No, it
4 doesn't sound like it. Any other last questions from
5 within the room? No, okay, thank you very much, Nate,
6 for your participation.

7 MR. BLAIR: Thank you.

8 MR. RHYNE: And so I'm expecting you to hang
9 around for our panel discussion, but first we have one
10 last presentation. Our next presentation is from Justin
11 Kubassek from Southern California Edison.

12 MR. SILSBEE: Ivan, while Justin is getting set
13 up, I would like to make a few introductory comments if
14 I could.

15 MR. RHYNE: Good.

16 MR. SILSBEE: I'm Carl Silsbee from California
17 Edison. I manage Edison's participation in the IEPR
18 proceeding at this Commission, and also our
19 participation in the CPUC's Long Term Procurement Plan
20 proceeding. Justin and I are in a group at Edison that
21 is responsible for resource planning issues. And, of
22 course, the Cost of Generation Model has a number of
23 applications in that area, so we're very familiar with
24 it. At the outside, I would like to express my thanks
25 and appreciation to CEC staff for hosting this workshop.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 I'm hopeful that the dialogue will help us improve some
2 of the uses of that model, and certainly to improve our
3 understanding of how it's used in a variety of resource
4 planning forums. As you know, the Cost of Generation
5 Model is widely referenced in resource planning
6 proceedings dealing with choosing resource strategies
7 and, as such, it does really get to the issue of
8 comparing the cost of different technologies.

9 As you heard this morning from a number of the
10 presenters, levelized cost of energy modeling fall short
11 in a number of key areas in providing effective rank
12 ordering. I also find that people who just simply use
13 levelized cost of energy modeling without understanding
14 the limitations, oftentimes come into regulatory
15 proceedings with very simplistic views of how different
16 technologies truly compare in cost. And so I think
17 improvement in the sophistication of everybody's
18 understanding will be something that is very helpful,
19 and I would hope that the CEC would take a leadership
20 role in that area.

21 Justin is going to go into some details of what
22 we see as some of the limitations of the levelized cost
23 of energy modeling as currently implemented, and make
24 some suggestions of things that it can modify in the
25 model. Our hope is that we can make incremental

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 suggestions and stay within the existing framework that
2 the Commission has established for the Cost of
3 Generation Model.

4 And then, a couple of final comments. Although
5 the scope of this workshop is not directed to the data
6 inputs, I'd like to express general agreement with
7 Joel's comment that the process by which the CEC uses to
8 develop the data inputs in general produces reasonable
9 results. We are in the course of developing our own
10 estimates for technology cost for many of the resources
11 that go into the model, and we'll be very happy to share
12 that information with you as the CEC goes forward to
13 update the model next year.

14 Finally, I'd like to make a point that Edison
15 strongly supports technology-neutral all source
16 procurement, and so what we see as an advantage of this
17 kind of comparative cost analysis being is to inform
18 generation and transmission planning efforts, and to
19 influence policy direction. We don't see this kind of
20 modeling as directed to picking winners or losers, we
21 think that is more appropriately done in a competitive
22 setting. So, again, thank you for all the work that
23 you've put in over the years on the cost of energy
24 modeling and I'll turn it over to Justin.

25 MR. KUBASSEK: All right, thanks everyone for

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 sticking around for these presentations. Also, I like
2 the name that Ivin picked for my presentation better
3 than mine, it sounds much more interesting. But anyway,
4 so my presentation today will just be talking about the
5 Cost of Generation Report. We don't have our own model
6 here that I'll be presenting.

7 But, as we know, the CEC puts together a report
8 that outlines for a number of different resources,
9 what's called a Levelized Cost Estimate, which is
10 essentially just the lifecycle cost divided by annual
11 energy production. And according to the CEC's website,
12 these costs provide a basis for comparing the total cost
13 of one power plant against another. What we find is
14 that the way in which the data is presented and what's
15 included in the analysis actually makes that very
16 difficult. And we find that the result, as presented in
17 the report, and as presented by the model, actually lead
18 to some erroneous conclusions about the relative costs
19 of different generating technologies.

20 What I'll be presenting here is a framework for
21 calculating a levelized cost for different technologies,
22 intermittent and dispatchable technologies, that allow
23 for a meaningful comparison of the two numbers. There
24 are two reasons why the CEC's report and why levelized
25 cost estimates, in general, tend to produce erroneous

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 conclusions, especially when it comes to intermittent
2 resources and dispatchable resources. The first is that
3 these levelized cost models only calculate explicit
4 accounting costs, the cost of putting the steel in the
5 ground, combined with some assumptions about return on
6 equity and price of energy in a contract, so that you
7 get total lifecycle cost. Specifically, the Cost of
8 Generation Model doesn't capture differences in economic
9 life, capacity, dependability, time of delivery,
10 flexibility, or integration requirements. Second, as
11 was alluded to in the E3 presentation, the data is
12 presented on a dollar per megawatt hour basis, which
13 includes an assumption about the capacity factor that
14 greatly impacts the result. This is most notable with
15 the CT, but it impacts even comparing a CCGT to solar or
16 wind.

17 At the end of the presentation, we'll have a
18 framework and I'll also present the methodology we did
19 to come up with some actual estimates for these numbers,
20 that we think is meaningful and that it is more in line
21 with what our expectations are.

22 This is a graph just pulled from the latest
23 report, and the story, we've talked about this before,
24 it suggests that solar and CT are just completely out of
25 money and we should never build these things, but as we

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 know, they serve a different purpose and, with the case
2 of the CT, it's really just the fact that it's an all in
3 dollar per megawatt hour metric. But, in addition,
4 we're comparing a CC with a 70 percent capacity factor
5 to solar and wind, which are producing actually much
6 less energy. So, in the case here, the CEC is actually
7 incurring these additional fuel costs and bond costs,
8 and presumably it's in the money, it's running, and
9 they're gaining some revenue for it, but that's not
10 captured here, and that's fine, but there's a mismatch
11 there, as well. Ultimately, the existing framework
12 cannot really show any cost-effectiveness or make any
13 reasonable conclusions because, 1) not all cost elements
14 are included, we're not including any economic or
15 implicit costs, and resources with different capacity
16 factors are being compared on this dollar per megawatt
17 hour metric.

18 For the rest of the presentation, I'll actually
19 propose a methodology for correcting for the five items
20 that I laid out, and they're all pretty simple, so the
21 first is we need to include replacement energy and
22 capacity costs. This will address equalizing across
23 different economic lives. The second is include firming
24 costs, which will be based on resources and then
25 qualifying capacity. The third will be include a non-

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 dispatchability cost penalty for must take resources,
2 which will address time of delivery, flexibility. The
3 fourth will include integration costs for intermittent
4 resources, and then the fifth will be compare resources
5 on an equal capacity factor basis, using a screening
6 curve.

7 So, I'll start off with comparing across equal
8 economic lives. To illustrate this, we'll compare two
9 resources with the same levelized real value, or real
10 economic carrying charge. Basically, what that means is
11 that, instead of holding constant - okay, so in the
12 levelized nominal framework, you calculate the lifecycle
13 cost, and then convert that into a payment that stays
14 constant in nominal terms. What we've done here is
15 convert that into a payment that stays constant in real
16 terms. So, this value here for each of these resources
17 is the same, and then we escalate that over the life,
18 and this is the nominal value here. This line here is
19 just sort of illustrative of what the levelized nominal
20 value would be for each of these resources, and what we
21 can see is that resource 1 appears to be more cost-
22 effective. In reality, a decision-maker should be
23 indifferent between these two resources because in Year
24 21, he's going to have to replace resource 1. And when
25 he or she does so, the value is going to be the same as

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 resource 2, and so, really, it's kind of a misleading
2 conclusion here simply because resource 1 is avoiding
3 these additional costs, these carrying charges. There
4 are two solutions to this, one is calculate some generic
5 replacement energy and capacity costs, and just include
6 that on all resources that have a shorter life than sort
7 of, I guess, would be the longest lived asset in the
8 analysis. The second would be to assume the same
9 technology is replaced again, in which case you can just
10 calculate a real economic carrying charge and compare on
11 that basis. And that's what we do in our analysis. And
12 trudging back, on a real economic carrying charge basis,
13 these two resources have the same value, and therefore
14 you kind of avoid that conclusion.

15 The second piece here is we need to include the
16 cost of procuring additional capacity. Traditional LCOE
17 analyses have basically just kind of made the implicit
18 assumption that a kilowatt of one resource is the same
19 as another, so you're not going to be incurring any
20 additional capacity cost when you're getting - you're
21 deciding whether to build a CT or a CCGT, both are
22 providing the same capacity. So, really, it's
23 irrelevant and you don't really need to consider that.
24 With intermittent resources, it's not necessarily the
25 case, therefore, when making a decision between an

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 intermittent resource at a higher net qualifying
2 capacity, a decision-maker needs to consider what that
3 additional cost will be if he chooses to purchase or
4 build the resource that has the lower net qualifying
5 capacity. To estimate that here, we use net qualifying
6 capacity numbers that the CAISO publishes, and that's
7 kind of a best estimate, it's based on historical
8 information, but we make the assumption that net
9 qualifying capacity is a reasonable assumption, or
10 estimate of what the true dependable capacity is, or
11 value of that resource to system reliability. Then, we
12 calculate it with the additional capacity cost using the
13 fixed dollar per kilowatt year levelized cost from the
14 CEC's Cost of Generation Report. CTs are typically used
15 as a proxy for what additional capacity costs are. And
16 now, once we make this adjustment, we've included -
17 we're comparing these two resources on an equal capacity
18 basis. In the costs that we're seeing, we're getting
19 the same capacity value.

20 The third item here is capturing the value of
21 dispatchability, the value of being able to control
22 where you're on or when you're off. Must Take Resources
23 don't have the ability to optimize their dispatch
24 against market prices, therefore, when considering a
25 resource where you have that ability to one where you do

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 not, you have to consider the interaction between the
2 expected generation profile of the Must Take resource to
3 your projected market prices. The differential between
4 what a must take resource's average price would be if
5 they could optimize for their given capacity factor vs.
6 the average market price that they actually face is an
7 opportunity cost to choosing that particular resource to
8 serve energy.

9 Our methodology for us to maybe miss was to take
10 an implied heat curve from SCE's default load
11 aggregation point price for 2010, and then we used the
12 levelized gas price forecast from the CEC model and had
13 basically created then a forecasted heat rate curve and
14 used some historical generation profiles that we had, so
15 - and to implement this, we need some estimate of both
16 market prices and generation, but I think some sources
17 are publicly available.

18 What I have here is just an example monthly
19 profile from a wind resource that we had access to data
20 to in SCE's portfolio. This story here is one that I
21 think we're all pretty familiar with. Generation from
22 wind resource is pretty volatile, and that operationally
23 requires additional regulation, ramping and following
24 services. That work is ongoing, it's certainly not
25 linear, it's dependent upon the technology, the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 location, a wide number of things. So we include a
2 \$15.00 per megawatt hour estimate, and that is kind of
3 just there to show the implications of this. So, again,
4 it's an additional cost to whatever a decision maker
5 needs to consider.

6 Here are the results of the analysis I did and
7 this is posted on the CEC's website. I just took the
8 CEC's base numbers, had a few sheets of extra
9 calculations, and then I'm holding capacity factor
10 constant, so the CCGT and wind are both producing the
11 same amount of energy. What we find here is that the
12 differential between wind and solar has diminished.
13 Also, we find that, for the same capacity factor, wind
14 is actually slightly a bit more expensive than a CCGT,
15 primarily due to this hidden capacity cost. It's not
16 reflected in the cost of capital, or in the cost of
17 actually constructing the resource. Also, it's
18 interesting that the way this analysis was done, on a
19 dollar per megawatt hour basis, wind actually doesn't
20 have as much of an opportunity cost of energy as solar,
21 which is kind of surprising since you think solar
22 produces more on peak. I think that largely has to do
23 with just the fact that wind is producing - has 37
24 percent capacity factor, so I think it kind of outweighs
25 it into this analysis, and it was 2000 - looking at

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 historical data, so...

2 So comparing on the dollar per megawatt hour
3 basis is perfectly acceptable if you are holding
4 capacity factor constant, but it's a little bit clunky
5 and you kind of have to do it for each resource. So
6 what we propose here is actually developing a screening
7 curve where dollar per kilowatt year is on the Y axis,
8 and then we have capacity factor on the X axis. These
9 screening curves just kind of produce a nice straight
10 line, so it's visually pleasing and easier to kind of
11 interpret. And intermittent resources are just point
12 estimates here.

13 As you can see here, the analysis really is more
14 reflective of the other underlying economics, which is
15 that, as a peaking resource, CTs actually do make sense
16 if you're comparing it to building a CCGT or coal. So
17 that conclusion that CTs don't make sense is not here,
18 as you can see why. Second, we see that the conclusions
19 are exactly the same as the dollar per megawatt hour
20 conclusion, so there are really just two ways of looking
21 at the same value, which we know, but just to illustrate
22 that, the conclusions are the same. And we're comparing
23 it to a CCGT on an equal energy basis.

24 So, in conclusion, we would recommend kind of
25 including these additional costs as implicit or economic

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 costs: one is, first and foremost, equalize dependable
2 capacity across resources, this has the biggest impact
3 on the analysis because, although wind has very cheap
4 installed cost and capital cost, it simultaneously has a
5 low capacity value and there's an interaction effect
6 there; the second is incorporate the value of
7 dispatchability, and that can be thought of as an
8 opportunity cost, or being a must take profile; the
9 third is incorporate an estimate of integration costs in
10 some way; the fourth, compare resources across
11 equivalent timeframes; and then, finally, compare
12 resources using a screening curve. And that's the end
13 of the slide show.

14 MR. RHYNE: Justin, before you move on to the
15 rest, I want to clarify, you made a proposal of
16 including a \$15.00 additional charge?

17 MR. KUBASSEK: Uh huh.

18 MR. RHYNE: It was the integration - so that was
19 \$15.00 per -

20 MR. KUBASSEK: Megawatt hour.

21 MR. RHYNE: Megawatt or megawatt hour.

22 MR. KUBASSEK: I would hate to come up here and
23 say anything that is - I think this is here just as
24 illustrative purposes, so -

25 MR. RHYNE: And I recognize that. What I'm

1 interested in, though, if I take that as illustrative,
2 where we're trying to go is to understand, well, how
3 should this be done. So, do you have or could you
4 propose a method for getting to number that is not
5 illustrative, that is actually useful with regard to
6 this activity?

7 MR. KUBASSEK: I think Carl will probably say
8 the same thing I'll say, but -

9 MR. SILSBEE: We've seen estimates in other
10 areas of the country, maybe \$10.00 to \$15.00, there are
11 a variety of studies out there. Unfortunately, the
12 numbers are very widely - because I think they are very
13 site specific. In the Long Term Procurement Plan
14 Proceeding, we think we may get some metrics as to the
15 cost of moving from where we are today to 33 percent in
16 terms of renewable integration, and that may be helpful
17 to us to get a little more context specific California
18 type number for renewable integration. One of the
19 challenges, though, is we have some level of capability
20 today to handle additional need for renewable
21 integration. So if you're measuring from, let's say, 20
22 to 33 percent, you're going to eat up free capacity for
23 renewable integration, where you then start having to
24 accrue the costs, so I think, even best outcome out of
25 the LTPP, it will still be a bit fuzzy for us now and

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 it's something that will have to get refined over time.

2 MR. RHYNE: Right, so I think that puts us in a
3 quandary, I mean, recognizing that there may be some
4 additional or marginal cost associated with renewable
5 integration isn't quite the same as being able to put a
6 dollar value to it in terms of adding it into a cost
7 model such as ours, and so, while we can all kind of nod
8 our heads in a theoretical sense and go, "Yeah, there's
9 probably something there," we - the CEC hosted a
10 workshop, I think, last week or the week before where
11 the ISO presented the results of their 33 percent
12 Integration Study and indicated that there's very little
13 need, in fact, from their point of view at this point
14 for additional integration resources. That's not to say
15 that it's zero or zero cost, but simply taking an
16 illustrative number of \$15.00 doesn't necessarily get us
17 to where we should be going with what to integrate into
18 this model.

19 MR. SILSBEE: I agree with that. There was some
20 analysis presented, I believe it was by Lawrence
21 Berkeley Labs in the LTPP proceeding at the request of
22 the Commission to look at some of these issues, and they
23 cited a variety of sources in the literature for
24 estimates on renewable integration costs.

25 MR. RHYNE: So, I'm hoping that you'll provide

1 written comments that, at the very least, point to that
2 so that we can get that into our own record, as well.
3 Thank you.

4 MR. KUBASSEK: And actually, I'm glad you
5 brought me back to this slide here. So, two things that
6 I missed, first is we included some GHG costs just into
7 the model to cover that area, as well. We used the
8 Synapse mid case and just stuck that into your model, so
9 I wanted to point that out. Also, this analysis here
10 just uses the CEC's assumed 20-year life, and SCE
11 recommends a 30-year life consistent with industry norms
12 for depreciating CCGTS.

13 MR. KLEIN: Joel Klein. That's just for
14 combined cycles, not for combustion turbines - a 30-year
15 life you're -

16 MR. SILSBEE: I think we see CTs as having a 30-
17 year economic life, as well.

18 MR. RHYNE: Okay. So what -- I'm sorry, that
19 raises a different question -- so what does that do in
20 terms of biasing the numbers for or against any one
21 particular technology if you could pick a 30-year
22 lifespan? What about technologies that have a 50-year
23 lifespan or longer? Is there actually a number we
24 should be looking out beyond 20 years and, say, looking
25 at two generations, or two iterations? I'm asking the

1 question because the lifespan kind of normalization that
2 you're talking about seems to be targeted on the
3 lifespan of a combined cycle.

4 MR. KUBASSEK: Well, actually, using a real
5 economic carrying charge actually will adjust everything
6 to an equal or a comparable value; it essentially,
7 basically says if you assume, if you use the real
8 economic carrying charge, then however many times you
9 assume that that resource will replace itself, it
10 doesn't affect the fundamental value. So, using that
11 approach, you can compare a 30-year life assay to a 20,
12 to a 40, to a 50, because it assumes that you're going
13 to replace that asset with itself, and that won't change
14 the starting value.

15 MR. RHYNE: Okay, thank you.

16 MR. KLEIN: I have another question.

17 MR. KUBASSEK: Yes.

18 MR. KLEIN: Joel Klein. Putting aside for the
19 moment the GHG and the different lives, you know, the
20 life adjustment -

21 MR. KUBASSEK: Uh huh.

22 MR. KLEIN: -- and I say put those aside because
23 those are costs to the builder, to the developer, okay?
24 The others seem like they're not cost of the developer,
25 they're cost to the system, which means we've got to ask

1 the question, what is this Cost of Generation Model
2 proposing?

3 MR. KUBASSEK: Well, two things. One is it's
4 not necessarily cost to the system, per se, as cost to,
5 for example, the - we don't know who is going to have to
6 pay integration costs. There's talk about putting that
7 back on to wind resources and BPA rate proceeding, if
8 I'm correct there?

9 MR. SILSBEE: I heard about that, but I think it
10 makes some sense to us, certainly, to have the
11 integration costs paid directly by the entity that
12 causes those costs, so that you align the economic
13 incentive to most inexpensively resolve the integration
14 problems.

15 MR. KUBASSEK: For capacity, the IOU has to meet
16 an RA requirement and, so, when choosing resources, the
17 IOU will have to face, or the load will have to face the
18 additional capacity costs, so these are - this is a
19 perspective of the decision makers, so if we're
20 providing this data as to decision makers, then we
21 should include the implicit or economic cost just as
22 much as we include the accounting cost of the asset.

23 MR. SILSBEE: If I can add to that, and I
24 suppose we're moving on to kind of the panel discussion
25 here with this -

1 MR. KLEIN: Yeah, maybe this could be deferred
2 to the panel, I don't know, don't let me interrupt you.

3 MR. SILSBEE: You know, Ivin put out an
4 objective at the beginning of the session this morning
5 to develop the cost of the generator, and so I started
6 thinking about that as we were going through the
7 sessions this morning and thinking about, well, from
8 whose perspective are these costs relevant, and is there
9 a difference between the costs a developer faces that,
10 you know, would be internalized with the developer, and
11 the cost that the ratepayers or taxpayers who ultimately
12 bear the burden of these costs would face? And as I
13 thought about it, I reached a conclusion that maybe
14 there isn't much of a difference here because, even for
15 a developer, they're not only concerned with the direct
16 costs they face, but they're going to have to enter into
17 some sort of a solicitation where they're competing
18 against other kinds of renewable resources, and when
19 they do so, the utilities that are evaluating those bids
20 are going to do so on a least cost benefit basis, and if
21 they have indirect costs associated with their project
22 that make them less attractive, or more attractive, then
23 that factors into which technology is likely to be the
24 winner. So, I think in either case, whether your
25 perspective is as a developer, or a consumer of the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 power, it's important to get these indirect costs in the
2 calculation.

3 MR. KLEIN: But I guess my final reservation -
4 not to take away from what you said, but I guess my
5 final reservation would be that, like Ivin was saying
6 earlier about integration, it leaves us with somewhat
7 ambiguous numbers, that would be my final reservation.

8 MR. RHYNE: Okay, it sounds like we have a
9 question online. We can go ahead and unmute the person.

10 MR. MILLER: Yeah, hi. This is David Miller
11 from the Center for Energy Efficiency and Renewable
12 Technologies. Can you hear me?

13 MR. RHYNE: Yes, we can. Thank you.

14 MR. MILLER: Great. Thanks. I think it's a
15 great talk, in part because it does actually expose what
16 some of the underlying costs are. I think the question
17 of who pays for those is much different.

18 MR. RHYNE: Sorry, we're having a little bit of
19 an issue with some folks.

20 MR. MILLER: Am I still on?

21 MR. RHYNE: Okay, yes, you are. Thank you, go
22 ahead.

23 MR. MILLER: Okay, awesome, yeah, thanks. Okay,
24 so my first point was that I think it's a great talk
25 because you're actually exposing what some of the

1 underlying costs are. I think the question of how those
2 get paid for is a wholly separate question, which I'm
3 not even sure this proceeding addresses. But my next
4 question is actually more of a clarification. If you
5 could go to the next slide, I didn't quite follow your
6 argument about how you were putting the wind and the
7 CCGT on the same footing. If you could just go over
8 that again, I would appreciate that.

9 MR. KUBASSEK: Okay, we're - I guess by putting
10 on the same footing, I simply mean we're comparing them
11 on an equal capacity factor basis, so if you go back to
12 this slide, it's a little less obvious, but a combined
13 cycle is incurring a significant amount of variable cost
14 here, which presumably have value to the system,
15 otherwise we wouldn't make the assumption that they're
16 running then. So I'm simply making the argument here
17 that what we are doing is benchmarking these resources
18 to their next best option, or conventional option, which
19 is illustrated as this screening curve of best
20 resources, or generic resources by capacity factor.

21 MR. MILLER: Okay, okay, I think I might have to
22 contact you offline to get that there. Thank you.

23 MR. KUBASSEK: Sure.

24 MR. RHYNE: Okay, any other questions online?

25 MR. MENDEHLSOHN: Can you hear me?

1 MR. RHYNE: Yeah, we can hear you.

2 MR. MENDELSOHN: I'm interested in the possible
3 duplication of costs looking at the opportunity cost
4 category and the integration cost category -

5 MR. RHYNE: And can we get you to say your name
6 and organization, quickly, sir?

7 MR. MENDELSON: Oh, sure, this is Mike
8 Mendelsohn from NREL.

9 MR. RHYNE: Oh, thank you.

10 MR. MENDELSON: Sure. Have you thought about
11 the possible overlap of those categories? And how do
12 you know that they're not overlapping?

13 MR. KUBASSEK: So you said the overlap between
14 the opportunity cost and the integration costs?

15 MR. MENDELSON: And the integration, yeah.

16 MR. KUBASSEK: So, opportunity cost, just to
17 make sure we're - I mean, by opportunity cost, that's
18 referring to the dispatchability value, so the energy
19 value from when you get to produce, when you're
20 producing on-peak, or off-peak? Or are you referring to
21 the capacity adjustment?

22 MR. MENDELSON: Well, I guess all three because
23 if you could produce whatever you want, then we wouldn't
24 have - yeah, I would think it would be so overlapped in
25 opportunity cost and capacity adjustment, as well as

1 opportunity costs with integration. It's not perfectly
2 clear that - if you could resolve all the integration
3 issues, then you wouldn't have an opportunity cost
4 anymore.

5 MR. KUBASSEK: Well, I guess it depends on what
6 resolving the integration cost means. I mean, if you
7 can have a battery that turns all wind energy into a
8 battery, and then the battery becomes like a CET, I
9 guess presumably you could make the argument that you
10 could then dispatch against market prices. But if you
11 are just simply on an hourly basis turning your wind
12 output into a Block E profile, you still would be
13 producing primarily off-peak.

14 MR. MENDELSON: Okay, but the integration cost
15 represents the cost of your spending reserve, would that
16 be right?

17 MR. KUBASSEK: It would reflect the costs needed
18 to operate the system on a day to day basis, and it
19 should not - I can see the argument that some element of
20 integration cost, if calculated inappropriately, could
21 overlap with capacity adjustment, but fundamentally, it
22 should not, it should only capture the cost, the
23 additional cost needed to run the system on a day to day
24 basis; whereas, the capacity adjustment is the cost of
25 meeting a planning reserve requirement or meeting a

1 generation peak load requirement.

2 MR. MENDELSON: Yeah, it's hard to tell from
3 just looking at your presentation. I mean, I think you
4 need to spell out really clearly how each of those costs
5 are calculated. I think that would help.

6 MR. KUBASSEK: Okay. Yeah, we do have, like I
7 said, the spreadsheets online on the CEC docket, so you
8 can take a look there at my exact methodology. Carl, did
9 you -

10 MR. SILSBEE: I was just going to say, in the
11 LTTP proceeding that's ongoing at the Commission now,
12 there is a Step 1 analysis that looks at the amount of
13 ancillary service requirements in regulation up,
14 regulation down, that is necessary on an hourly or
15 seasonal basis to accommodate certain renewable build-
16 outs, and those ancillary service specifications are
17 then put into the Plexos modeling in Step 2 as
18 constraint equations, and then the system is solved for
19 the mix of resources that need to be committed, and to
20 meet both energy capacity and ancillary service
21 requirements. And then if there are constraint
22 violations, then that results in adding additional
23 renewable integrating resources to the modeling. That
24 approach, I don't believe, creates any overlap between
25 the three components of cost. There is one implicit

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 assumption which is to solve first for planning reserve
2 market capacity, and then define renewable integration
3 need as that which is in excess of the planning reserve.

4 MR. MCCANN: This is Richard McCann with Aspen,
5 just following up a little bit on the opportunity costs
6 and integration costs, it's not the question I was
7 thinking of, but..., depending on your methodology, there
8 could be some overlap between those two if you're using
9 market prices rather than a proxy power plant cost, or
10 market operations because there is some energy use in
11 the integration costs, which then could roll over into
12 your opportunity costs, so there could be some double
13 counting that's going on there, but I can also see that
14 there are probably ways of pulling that out from the
15 LTTP in order to pull that -- or the ISO studies -- in
16 order to adjust for that, and it's the same thing with
17 the capacity adjustment and, of course, the LTTP studies
18 are showing that we don't need any capacity past 2020,
19 so you would be actually until 2020 at the earliest, so
20 you would be probably taking a deferred investment in
21 capacity adjustment sometime down the road in putting
22 that into the model. But what I was thinking, there are
23 a couple other elements in this adjustment in adapting
24 this type of overlay that would be probably useful, as
25 well, which is the RPS itself, it basically says that

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 renewables have other values for environmental factors
2 and for resource diversity, so those would be elements
3 that you would want to put into this overlay, as well,
4 and so you would have to try to figure out how to put
5 that in, I think, into your cost model, as well. One of
6 the things about this is that the Cost of Generation
7 Model, the way it's constructed now, it is essentially
8 self-contained in that it doesn't require inputs about
9 other resources, about any other types of other
10 resources, except for natural gas prices. And so,
11 adding these other elements then bring in, okay, you
12 need to add in system costs into the model and have
13 those elements. And so that's what makes this a bit
14 more complicated and then you have to decide, okay, what
15 are you trying to present? The idea of does this
16 identify what the utilities are doing for least cost,
17 best fit, well, then, that makes it - maybe it does make
18 it a very useful tool if that's what the utilities say
19 this is what they're using it for. And that may add
20 transparency to that entire process in a way that
21 actually makes it a very useful tool. So, just my
22 thoughts on that.

23 MR. RHYNE: Okay, any other questions here in
24 the room? Any other questions online? All right. So,
25 I know, Justin, you had the spreadsheet here in the

1 background, I know that it's also available on our
2 docket online and that we've got a panel discussion, I
3 think we can go through, unless there was something
4 specific you wanted to bring out of it.

5 MR. KUBASSEK: No, there's nothing that I really
6 want to -

7 MR. RHYNE: Okay, so I'm going to ask that we
8 take about five minutes and, at 3:00, we'll start our
9 panel discussion. And then after the panel discussion,
10 Al Alvarado will wrap up the day and we can all be on
11 our way. So I'll see you all in about five minutes.

12 (Break at 2:54 p.m.)

13 (Reconvene at 3:01 p.m.)

14 MR. RHYNE: All right, I'm going to ask everyone
15 to go ahead and retake your seats. Our two presenters
16 from earlier in the day are unmuted, so they can also
17 participate in this panel discussion.

18 So the ground rules for the panel are relatively
19 simple, these questions are not directed at anyone in
20 particular, and I don't expect the entire panel to go
21 through and answer in order, right to left, or left to
22 right, or anything like that; rather, this should be
23 more freeform and my questions are meant to be
24 conversation starters. Some of these conversations,
25 we're picking up from earlier in the day, and some of

1 these conversations are going to be perhaps new and
2 heading down different avenues. So, if any of our
3 panelists want to respond, please feel free to do so,
4 and you don't have to raise your hand, and then, as any
5 of the audience either here in the room or online care
6 to add to the discussion, or add their own questions to
7 the discussion, please feel free to do so, I would just
8 ask, as you either come to the podium or as you chime in
9 online, that you state your name and your organization
10 so we can get that for the record.

11 And so I've got a combination of questions here,
12 some of which were kind of pre-developed and are in the
13 agenda, some of which have kind of developed over the
14 course of the conversation today. And so the first
15 question is a broad question about this type of cost
16 modeling. So, what's interesting is that, over the
17 course of the day, we've really zeroed in on the idea
18 that this is not simply cost estimation, and I don't
19 think any of the tools themselves just estimate cost.
20 They attempt to put cost in some context of value.
21 Typically and traditionally, that value has been cost
22 per unit of energy, energy being the key value metric.
23 But as we've heard today, energy may not be the only
24 value metric that needs to be addressed. There is cost
25 per unit of capacity, cost per unit of ancillary

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 services revenue, costs per any number of things.

2 And so I'm going to throw it first to the panel,
3 what do you see as being the next evolution of kind of
4 this cost estimation process for new generation
5 resources? Should we be sticking with the cost per
6 energy, in other words, the levelized cost of energy
7 paradigm? Or, do we need to be adding something in
8 terms of capacity? Or, does that require its own
9 separate modeling activity?

10 MR. CUTTER: I'll take the first stab, this is
11 Eric with E3. I think one simple step that would be a
12 tremendous help, that has been touched on several times
13 today, simply having dollar per kilowatt year in
14 capacity separated for the fixed cost, and then there
15 are various options for doing the levelized cost of
16 energy for different capacity factors and any one of
17 those would be useful. It seems challenging to get much
18 beyond that. I guess I want to be cognizant of the role
19 the CEC plays in developing at a policy level cost
20 estimates for different technologies vs. the role the
21 utilities and the CAISO and the CPUC are playing in
22 developing portfolios of resources going forward. And
23 if we're trying to address integration of a bunch of
24 different LTPP scenarios with Plexos model runs, it
25 seems like we don't want to try and reinvent that wheel

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 here at the CEC, but the CEC can fill a really helpful
2 role in the Cost of Gen Report already in having some
3 validated reviewed cost estimates for different
4 technologies. I would sort of be leery of trying to
5 take on too much in the IEPR process that can be done
6 better elsewhere.

7 MR. MENDELSON: Hi, this is Mike Mendelsohn
8 from NREL.

9 MR. RHYNE: Go ahead.

10 MR. MENDELSON: Okay. I would argue that these
11 LC models generally should be restricted to comparing
12 very like resources. I think they're good tools for
13 quick analysis across PV technologies, for example, or
14 wind resources, but because of the constraints that have
15 been discussed today, I don't think they're good tools
16 for looking across resources and, absent some sort of
17 adjustment like SCE has tried to make, I think they need
18 a big asterisk next to them.

19 MR. RHYNE: I'm sorry, did we lose you?

20 MR. MENDELSON: Oh, I'm not sure -

21 MR. RHYNE: You said "a big asterisk next," and
22 then it kind of faded out.

23 MR. MENDELSON: Next to the results of these
24 models, that we should just be very careful in comparing
25 results across technologies.

1 MR. KUBASSEK: I guess our issue with the
2 asterisks is that not everyone reads them and the CEC is
3 doing a great job here of trying to better their process
4 and I think the feedback here is that the CEC can add a
5 lot of value by putting the format of the data in ways
6 that are harder to misconstrue, as well as putting in
7 analysis that is taking it to the next level beyond what
8 has been done. So, that's just my caveat for asterisks.

9 MR. PLETKA: This is Ryan Pletka speaking. I
10 mean, it needs to be clear that we're talking about
11 different products when you compare simple cycle and
12 wind, it's like going to the grocery store and comparing
13 eggs and bread, and one of them is lower cost, but you
14 really need both, right, to make an egg sandwich, I
15 guess. So, just to be clear, these are different
16 products and a table like this does sort of - obviously
17 somebody is going to want to look at that and say, "Why
18 would we ever put in these simple cycle things? That
19 doesn't make any sense at all." So...

20 MR. KLEIN: Okay, I wanted to get back to Eric's
21 suggestion. I'm just trying to understand it.

22 MR. RHYNE: Can you use the microphone, Joel?

23 MR. KLEIN: If you look up on the wall there,
24 Eric, you see I have one table of dollars per megawatt
25 hour, and I don't have it up there, but there's a

1 comparable table of dollars per kilowatt year, same
2 table, different values. Okay, so the data as I know
3 it, it's all there someplace, now what are you
4 suggesting? I'm just trying to - maybe help me
5 understand.

6 MR. CUTTER: Yeah, that's one step. I think in
7 terms of presentation, having all of these on the same
8 table does make it a little hard to distinguish across
9 technologies, but the one next step, and where this kind
10 of goes against what I was talking about before, is this
11 issue of residual capacity value, particularly for a CT,
12 you know, and that's the metric PGM and ISO used and was
13 used in the DR proceedings, trying to do some
14 quantification of how much revenue requirement is left
15 over after a CT and perhaps a CCGT earn revenues in the
16 energy and AS markets is a pretty common measure of
17 capacity value. That might be a step beyond what you
18 want to try and do in the IEPR.

19 MR. KLEIN: Well, would you be suggesting, for
20 instance, I'm still trying to understand it, that that
21 table be split in two?

22 MR. CUTTER: For example, I don't think a
23 dollars per megawatt hour is ever a useful metric for a
24 CT, so just not have that in the table at all.

25 MR. KLEIN: Okay.

1 MR. KUBASSEK: Well, I think - I'm just kind of
2 throwing this out there - displaying total fixed cost is
3 dollar per kilowatt year, and then your variable cost is
4 dollar per megawatt hour. Both of those values won't
5 change -- by those -- depending on your capacity factor.
6 Zero or 100, your fixed cost will always be the same on
7 a dollar per kilowatt year basis, and zero to 100
8 percent capacity factor, your variable costs are always
9 going to be the same on a dollar per megawatt hour
10 basis, unless you're - well, okay, so you're making
11 assumptions about heat rate degradation or something,
12 but that's - when we're talking about the grand scheme
13 of things, the slope is going to be less of an impact,
14 it's more illustrative, and then it prevents that issue,
15 but I think that simply right there is having fixed
16 costs and variable costs on different metrics kind of
17 solves what the issue was for a CT or -

18 MR. RHYNE: Okay, any other comments? Okay,
19 thank you. So, my next question is keeping it in a big
20 picture kind of theme, so besides units of value, let's
21 talk more specifically about what a levelized cost
22 model, or a cost model produced by the Energy
23 Commission, can or should include. We have
24 traditionally focused on those costs that are kind of
25 endogenous to the process of construction and operation,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 so what the owner of the generation resource will have
2 to pay to build and operate the plant; but, as we've
3 heard today, there is some discussion around using other
4 costs, system costs, other costs that are exogenous to
5 what the owner/operator, themselves, will have to pay
6 out of pocket. We started some of that discussion a
7 little earlier, and I want to throw it to the panel now
8 to maybe continue that discussion. What other costs -
9 or should any of those other costs be included?

10 MS. CHAIT: This is Michele. I'll reiterate
11 what I said in my presentation. The system cost and
12 LCOE costs are separate analyses and if you're trying to
13 reflect what, say, the all in cost of one of these
14 assets under a PPA is, it's inappropriate to include
15 system costs such as capacity and energy benefits,
16 transmission distribution benefits, integration costs,
17 but those costs are appropriately included in a system
18 impact type of analysis. Within E3, we used the Cost of
19 Gen LCOE numbers as LCOE, and also get into the break-
20 outs of the cost components that comprise the LCOE, and
21 we find it a very useful study for that.

22 MR. MENDELSON: This is Mike Mendelsohn. I
23 guess from an outsider's perspective, it's hard to know
24 exactly how you're using this report. And perhaps you
25 have many audiences and they're using it for different

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 reasons. But maybe you really have to show both the
2 LCOE and take a stab at the combined impact with the
3 system costs, so that these resources can really be put
4 on an even keel for evaluation of where we go with the
5 portfolio.

6 MR. RHYNE: Okay, thank you.

7 MR. MENDELSON: Yeah.

8 MR. RHYNE: Go ahead.

9 MR. SILSBEE: If I could just offer a
10 suggestion. This morning, I was struck by the equation
11 in Ryan's presentation, distinguishing ranking cost from
12 generation cost. And one of the challenges, I think,
13 that the CEC faces here is what really makes more sense
14 for planning purposes and for understanding the
15 tradeoffs that we have for planning the transmission, or
16 generation system, is more along the lines of what RETI
17 used as ranking cost. So we either try to get this
18 model to be a player in that forum, or we go just the
19 exact opposite way and almost make it a catalogue of
20 just the data inputs, and then leave those data inputs
21 to the user, such as yourself and ourselves, to
22 interpret as they see fit. But this middle ground where
23 we have a levelized cost of energy rank ordering that
24 would appear to compare things like solar and wind and
25 CT, but not do so on a truly comparable basis, I think,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 is an uncomfortable middle ground. It's hard to stay
2 with just because of its potential for misleading
3 people.

4 MS. CHAIT: I'd actually like to pose a question
5 to SCE. How would you propose calculating system-wide
6 costs of integrating a renewable portfolio on an
7 individual asset LCOE basis? Because it's my
8 understanding that you would look at a whole portfolio
9 scenario, say, this trajectory case in the LTPP, or an
10 economic basis, or timing basis, and you would look at
11 the system cost of an entire 33 percent RPS portfolio on
12 a system-wide basis, and I was just curious how you
13 would propose to translate that to an LCOE analysis
14 where different portfolios might have very different
15 system costs.

16 MR. SILSBEE: It's a good question. And I don't
17 have a good answer. I think at the level of
18 understanding or granularity that we have today, wind
19 and solar both create integration cost, but I'm not sure
20 which one creates more. And it's going to take a lot of
21 work to get there if we want to try to fine tune the
22 estimates of integration costs between different kinds
23 of resources -- a lot of work for people with big
24 computers.

25 MR. CUTTER: Eric at E3, to add. Every estimate

1 of integration cost, as I understand it, does look at it
2 on a portfolio basis, which is really hard to then
3 translate to an individual LCOE basis, but it would seem
4 an appropriate, or dividing line, would be for the LCOE
5 report to perhaps more clearly delineate itself as an
6 LCOE in focusing on a PPA busbar kind of analysis, and
7 then leaving the integration cost to more of the
8 portfolio analysis currently done in LTPP or commonly
9 done by the CAISO. You know, as an example, the
10 simplest approach E3 was comfortable using was at least
11 taking all the resources in the RETI zone and then
12 adding up how much CT capacity was needed as a result.
13 But all these analyses, there's a lot of interplay
14 between the portfolio and the level of penetration, for
15 example, PV gets a lot less capacity credit 10 years
16 from now than it does now because, if you assume a lot
17 of PV on the system, the net peak, just later in the
18 day, and all those kinds of factors just seem too
19 complex to do in kind of a simple LCOE report without it
20 then be caveated to the point where it becomes much less
21 useful to a wide variety of stakeholders.

22 MR. RHYNE: Okay, thank you. I think we have a
23 comment from online. Can we unmute? Okay, go ahead.

24 MR. MILLER: Hi, this is David Miller from
25 CEERT. Can you hear me?

1 MR. RHYNE: Yes, we can. Thank you.

2 MR. MILLER: Yeah, hi, great. I wanted to
3 comment that I just wanted to agree with the previous
4 speaker that I think it would be really challenging to
5 try and conflate the cost of the LCOE with system
6 integration charges and I think one point that maybe
7 should be raised right now is that the system currently
8 socializes the cost to the system of contingency
9 reserves, which are there to protect the system from an
10 outage of the largest single generator, which in
11 California is the nukes. So I think, you know, if
12 you're going to start opening up the conversation about
13 who should pay for the integration charges, I think it's
14 important to recognize that the system is already paying
15 a lot for integrating thermal resources and if we're
16 going to bring that conversation out, I think maybe it
17 makes sense to really look at it altogether, and not
18 just to the renewables since they're sort of the last
19 people to the party. But that's my comment. Thanks.

20 MR. RHYNE: Thank you. Any comments from our
21 panelists?

22 MR. SILSBEE: I do want to be careful not to
23 throw the baby out with the bath water here. The values
24 we're talking about for renewable integration are, as
25 you can see in the charts, not a very big chunk of the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 overall total costs, and it really - you have to
2 tradeoff what are the objectives we're trying to
3 accomplish here, and it's either, I think, moving back
4 to a considerable retrenchment of what's in the report
5 to break it up at discrete chunks, and they're only
6 similar resources, and not to try to put CTs on the same
7 chart as renewables, for instance; or, as to make some
8 effort, admittedly not perfect, but nothing is perfect,
9 to come up with a more meaningful rank ordering that may
10 be more instructive. But, as I said, I think this
11 middle ground we're in now isn't a very good place to
12 be.

13 MR. RHYNE: Thank you. So that actually leads
14 to - sorry, go ahead.

15 MR. BLAIR: This is Nate Blair. I was just
16 going to add one thing, that I think that, following
17 maybe on Mike's comment a little bit, but separating the
18 LCOE calculation and tools and methodologies from the
19 system calculation tools and methodologies is something
20 that I would advocate because I think conflating them,
21 as other people have indicated, you could end up with a
22 result that is very very site specific and not as
23 generally useful. But one thing that we've done at NREL
24 that's helpful, I think, is that we work very closely
25 with the teams that actually deal with the system

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 analysis of say WECC or something, some large area, and
2 I think that the focus could be on making sure that
3 whatever tools are at the LCOE, or at the busbar PPA
4 sort of level, as you mentioned, are really compatible
5 and have consistent metrics, consistent definitions, and
6 handshake very easily with the system level tools.
7 Thank you.

8 MR. RHYNE: Thank you. Okay, so we've got
9 another comment on line. Go ahead.

10 MR. MILLER: This is David Miller from CEERT
11 again. I just wanted to make a quick comment, that I
12 think that the work from Edison was real useful because
13 it actually took a really nice look at what those
14 charges to the system would be, so I think getting that
15 kind of information on the table is a great thing, and
16 actually, I'd like to see that explained more. Thanks,
17 that's my comment.

18 MR. RHYNE: Okay, thank you. Okay, so we're
19 going to shift gears just a little bit here. And this
20 next question kind of refers to the graph that is up
21 here on the screen, and that is the fuzziness or
22 inherent uncertainty associated with so many of these
23 cost estimates, especially when we began to look out
24 into the future. It's difficult to even get estimates,
25 as many of the presenters have noted today, with regard

1 to what's just been built recently, so what's actually
2 been built, getting good cost estimates is difficult
3 enough, then projecting those cost trends out into the
4 future as some models, the CEC model, attempts to do so,
5 but not all of them, adds a layer of difficulty. And
6 what comes out of that is a great deal of uncertainty.
7 And the bands that are demonstrated here kind of give us
8 a sense of how large some of those uncertainties are.

9 I'm going to ask the panel, how can we, first of
10 all, deal with kind of narrowing some of those ranges of
11 uncertainty, if possible; but, second of all, how do we
12 communicate that uncertainty best in the models?
13 Because this is a really critical piece of communicating
14 to policy makers. When we talk about costs, these costs
15 especially for future projects that are not set in
16 stone, and so helping policymakers understand what those
17 uncertainties are is important to us.

18 MR. PLETKA: Yeah, I'd like to comment on that.
19 This was an issue that I deal with every day,
20 frantically, and it was a big part of the RETI
21 assessment. I mean, I think it's important for people
22 to understand that, you know, estimates of renewables of
23 fossil fuel are not points to begin with. I mean, if
24 you had a chart up here which was the cost of homes in
25 California, right, that would vary from \$50,000 to \$70

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 million or something like that. So, there is absolutely
2 a range in these estimates and that should be reflected.
3 One of the things that was a big issue in RETI was that
4 there were a lot of people who were saying, "My
5 technology, it's commercial, but it's getting even
6 better every day and the costs are going to come down by
7 such and such percent by this time, and you need to make
8 sure that that's included in the forecast." And we get
9 wrapped up in these things where we have to make cost
10 forecasts out to 2020, and I hate doing that kind of
11 thing because there's no way you can be right, and no
12 one in this room is going to sit here and tell me they
13 can do it any better than anybody else because, you
14 know, looking back just the last 10 years, I don't think
15 anybody could have predicted the pattern that power
16 plant costs went through the last 10 years. The key
17 thing I think that we came away with, and it sort of was
18 a compromise in RETI, was we said, "Look, we're trying
19 to do transmission planning now." We're talking about
20 \$10, 15, 20 billion worth of investment that we need to
21 start on today. Can you really say, you know,
22 "Guarantee me, put that \$20 billion on the line, that
23 your reduction is so certain that it's worth us really
24 putting that much money on the line?" And the thing we
25 came back to was, you know, all these things are

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 essentially a combination of steel and wires and other
2 things like that, and there's a lot of commodity driven
3 prices here, and none of us can say that such and such
4 technology is so much better than other ones, or has so
5 much potential for cost reduction that it really was
6 going to have a dramatic difference in kind of its cost
7 reduction potential over time, maybe with one exception
8 and that was when we first looked at solar PV costs back
9 in 2008, there was some recognition that there was
10 probably greater potential there, but we still didn't do
11 a forecast of solar PV cost reduction, what we did was
12 just kind of did the sensitivity study. So that was,
13 you know, the uncertainty related to that cost, we
14 essentially just wiped it out, we said within 10 years,
15 everything is either going to get a little bit better or
16 a little bit worse, and let's not put that into our
17 uncertainty bar because it would just make them huge.
18 So we really tried to focus on - I think there were two
19 types of uncertainty - one is, when you do a site
20 estimate, you know, there are some things related to the
21 site that, if you put PV panels on a farmland, or you
22 put them on some other type of rolling terrain or
23 something, there is going to be site-related costs that
24 are definitely going to cause differences. So when we
25 make point estimates, we have to understand there is

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that sort of site-related uncertainty and that's always
2 going to be there. And there's also just the general
3 uncertainty of, "Is my answer the right one?" You know,
4 "Do I really know the cost is this, related to
5 escalation and inflation?" So there's sort of like
6 these multiple levels of things that you need to
7 understand. And when we did RETI, we kind of said,
8 well, let's just pretend that we're right and let's just
9 try to focus on the uncertainty that really
10 differentiates one area of the state from another so we
11 really focus on that kind of site-related uncertainty
12 when we made our estimates and that the bands for
13 uncertainty we still had, I thought, were huge, but they
14 were meant at the end of the day to reflect the
15 uncertainty that decision makers needed to be aware of,
16 at least in my view, things that there was some level of
17 real uncertainty related to site, enough that everything
18 was going to be plus or minus - plus 20 percent or minus
19 20 percent, it was one area of the state was better than
20 another and that was, I think, what we tried to
21 communicate.

22 MR. SILSBEE: Some of this uncertainty is just
23 simply reality, one developer vs. another developer may
24 encounter different costs, or may have trouble with
25 permitting environmental restrictions and so forth, so I

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 think it is appropriate to show bars such as you have
2 here. I suspect from looking at the wide range of some
3 of these numbers that there's, you know, convoluted with
4 construction cost uncertainty, you may have different
5 technologies, or perhaps different capacity factors that
6 are included in the range and I think there are other
7 ways to deal with those variations besides treating them
8 as uncertainties. I think that the stuff that Justin
9 presented which showed a screening curve as a line could
10 be turned into not a line, but maybe a range of values
11 and similarly the dots in that curve for the
12 intermittent technologies could be turned into bars, so
13 I think there are ways to portray the data that do
14 reflect some of those underline uncertainties, and I
15 would encourage that.

16 MR. KLEIN: By the way, I think we did screen up
17 capacity factor difference, right? In developing our
18 cost, at least for the gas-fired units, because we
19 developed component cost for installed cost and -

20 MR. SILSBEE: It's hard for me to imagine that
21 the range of cost on a simple cycle combustion turbine
22 is 10:1.

23 MR. MCCANN: Well, some of that was - there was
24 actually uncertainty about the capacity factor and it
25 was, for example, in the merchants, there was - I think

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 it was five percent and range at least at 10 percent,
2 which causes a 50 percent swing right there. And so I
3 think that uncertainty is in there. And then, for some
4 like wind, I know that wind was like centered around 34
5 percent, but at four percent either way, so there is a
6 capacity factor uncertainty in there.

7 MR. KLEIN: No, Richard is right, I
8 mischaracterized that. We had to assume for the
9 purposes of those bars a range of capacity factors. I
10 was thinking back to the original data being muddled. I
11 misunderstood you, but, yes, we have ranges of capacity
12 factors, 2.5 percent to 10 percent, or something like
13 that, I can't remember. Yes, that's a big driver there,
14 absolutely. I apologize.

15 MR. RHYNE: Okay. Any other comments? Richard.

16 MR. MCCANN: I don't know if you've moved on to
17 it, I had a question about how to treat uncertainty
18 about tax policy because, if you look at ARRA is
19 expiring, is now going to start expiring over the next
20 four years, a number of the other tax benefits come up
21 for renewal, some usually get renewed, but other ones
22 are less likely to get renewed, and particularly in the
23 political environment we have in Washington, D.C. right
24 now, it's even more uncertain about tax benefits. And
25 we attempted in the Cost Generation Model to deal with

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that explicitly because it's a one-zero type of
2 uncertainty. How do we deal with that kind of
3 uncertainty going forward? And it clearly has a very
4 big impact on cost, that type of uncertainty.

5 MR. KLEIN: I don't think I made that clear
6 before, but for our model, we assumed existing
7 expiration dates for the ITC, whatever they were. Like
8 on the property tax, we presumed that would be - for
9 solar - property tax exclusion for solar - we assumed
10 that would be ongoing, but for the ITC, we assumed that
11 they expired when they were presently delineated to
12 expire, and that was like 1013 for wind, 1016 for solar,
13 and everything else was - I said that wrong - 2013, 2016
14 for solar, and 2014 for everything else.

15 MR. SILSBEE: This raises a broader question,
16 which is what does the snapshot today look like vs. what
17 might the snapshot five or 10 years from now look like?
18 And if you look at one of the presentations that Joel
19 put up earlier today, it showed a very significant
20 forecast of declining prices in several of the solar
21 technologies. That creates, I think, some very
22 difficult questions. If we think that, well, let me
23 just frame it generally, if you have Technology A and
24 Technology B, and Technology B is more expensive today
25 than Technology A, but you think Technology B is going

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 to be cheaper in 10 years, then maybe you shouldn't
2 build - you definitely don't build Technology B today,
3 but maybe you don't build Technology A, either, if you
4 can afford to wait. So, what we're doing here when we
5 see these choices, we create some optionality, that it
6 might be better to hold back on the capital until the
7 uncertainties are resolved. Those are very tough
8 judgments. My recommendation would be to run the
9 numbers based on what's on the left side and, if you
10 want to do some sort of a separate calculation of what
11 things might look like five or 10 years hence, then run
12 that as a completely separate piece of the analysis.

13 MR. KLEIN: Well, we did have two target years
14 that we used, one was 2009 and one was 2018. But I see
15 you point. Could you possibly be suggesting that our
16 consultant missed any of those numbers if they weren't
17 exactly right? Are you suggesting that? I would think
18 a consultant, I'm sure, got that right. How could they
19 miss?

20 MR. SILSBEE: No, I wasn't critiquing the
21 numbers themselves, I was addressing the issue of the
22 uncertainty of any forecast.

23 MR. KLEIN: I'm just glad I didn't have to do
24 that.

25 MR. PLETKA: When we do these types of studies,

1 long-range things, and we look at the tax credits,
2 usually it's - we do a case with and a case without.
3 What I think is probably the case - and when we do that
4 case without, if we're doing like what we think the
5 picture is going to be in 2020, it's not that we say,
6 "Okay, we now have a 30 percent tax credit that goes
7 away in 2016, and so we don't have anything for
8 renewables." Typically, we'll say, you know, what is a
9 constant, I think, is that there's a strong political
10 commitment to low carbon technologies, be they renewable
11 or whatever, and that if we do run out of a tax credit,
12 we no longer support renewables that way, perhaps there
13 will be a national or Federal, you know, a strong CO₂
14 policy, that will provide some other type of incentive,
15 you know, if we don't have an ITC, maybe there will be a
16 stronger PTC. Who knows what it's going to be? So,
17 generally, it's not like a cliff happens in 2016 and all
18 of a sudden, if you don't have you renewable plant
19 developed by then, you may as well leave the country.
20 We've got some kind of assumption of ongoing policy
21 support of some form, it's just we don't necessarily
22 know what it is.

23 MR. RHYNE: All right. Thank you. So the next
24 question is about updates and triggers for updates. I'm
25 framing the question on the assumption that the CEC

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 continues to revise this model that's not a given,
2 necessarily, we're open to doing things differently -
3 completely differently, in fact. But, whatever model we
4 do, what would be the trigger for doing a revision or an
5 update? Is this something that, from your point of
6 view, this just kind of a broad model should just be
7 every couple of years because of the kind of fluctuation
8 of market conditions? Should it have specific triggers
9 for updating? Or should there be some other mechanism
10 for deciding now is the time to go back, review these
11 costs, and try and capture them going forward? And the
12 silence is deafening.

13 MR. MENDELSON: This is Mike Mendelson from
14 NREL. I would think a bi- or triennial analysis would
15 smooth out the fluctuations that you're definitely going
16 to see. I mean, that's where gas prices spiked, by the
17 time you got your report out, they'll probably come back
18 down, or vice versa. So, I would think you just have
19 got to take a snapshot in time and do the best you can
20 with the information you have at that moment.

21 MR. RHYNE: Okay, thank you.

22 MR. MENDELSON: Thanks.

23 MR. SILSBEE: I'm generally comfortable with the
24 every other year process that the CEC seems to be
25 undertaking. I hate to see a lot of make work and I

1 think moving to annual might be more work, or more cost
2 than is really justified here. I think the fact that
3 the model is publicly available and a user can come in
4 and put in their own inputs, if they believe some
5 particular element of the input data is stale, makes it
6 far less important to update on an extremely frequent
7 basis. I think we are seeing a lot of changes in
8 technology cost, there's a lot of changes in the
9 renewable energy market in California, for instance, so
10 maybe about every couple of years make sense. At some
11 point in the future, I could see the CEC concluding that
12 things aren't moving as fast and maybe you can bump the
13 cycle back.

14 MR. PLETKA: Yeah, I talked earlier this morning
15 about this product that we put out every six months and
16 I think the frequency for that works well for us and
17 captures these fluctuations that are happening. I think
18 it is dependent upon kind of like what you were saying,
19 you know, are things changing or not, and things are
20 changing a lot now. So, I mean, right now our report on
21 Cost of Generation from 2009 is - it's actually somewhat
22 still relevant, but maybe the year 2007 stuff was, by
23 the time 2009 rolled around, really out of date; and in
24 some respects, the 2009 stuff is just not a worthwhile
25 reference anymore just because things have changed,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 everybody knows things have changed. So six months
2 works well for us, but our burden of work to put our
3 six-month change things together is really pretty small
4 compared to what you had to do here, so, you know, I'm
5 not sure I gave you -

6 MR. RHYNE: No, actually it does. But it does
7 lead to a follow-on question. So, how would you compare
8 the end use for that every six month revision of that
9 product to the end use of, you know, a big kind of
10 robust model and data kind of validation effort on the
11 part of an organization like the CEC? And are they
12 really comparable in that sense?

13 MR. PLETKA: Yeah, I think they are and they
14 aren't. I mean, there are certain inputs probably
15 within your product that you produce that people are
16 really looking for, you know, what do simple cycles cost
17 and what are solar PV? But people are probably not
18 going to want to knock on your door every year to
19 determine what the latest cost for biomass ITCC is, you
20 know, so there are certain elements maybe within your
21 thing that you could say, "Now, this we need to look at
22 more often." But, you know, gas turbine O&M costs? You
23 can probably let that slide for a couple years. Solar
24 PV capital costs? Maybe you should look at the more
25 rapid refresh on some of this stuff.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 MR. RHYNE: Any other comments?

2 MR. MENDELSON: This is Mike Mendelsohn again.

3 It would be interesting to get this projection of
4 forecasted prices against actual results and, I mean, if
5 you could highlight bid prices, or perhaps some client
6 prices from other market data, to make sure that you're
7 really right in the zone of what the market says. I
8 mean, in the end, it really comes down to how the market
9 really responds to be able to provide these resources.
10 I mean, I assume that you're just using this to sort of
11 feed your RFPs and how you evaluate resources on a
12 competitive basis, but I'm not completely sure on that.

13 MR. RHYNE: Right, so - and I apologize if I
14 didn't set the context quite sufficiently, but the
15 Energy Commission really doesn't issue or oversee RFPs
16 for generation resources, instead, we have kind of a key
17 role in formulating long term energy policy for the
18 State of California, and the Public Utilities
19 Commission, our sister Commission, oversees the
20 procurement aspect of generation resources for the
21 investor-owned utilities. And so, these cost estimates
22 are used by a wide variety of stakeholders, many of
23 which are external, some of which are internal, for the
24 purposes of understanding how different policy choices
25 affect, you know, possible future scenarios within the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 state. And so it's not a nice clean and clear, you
2 know, "Here's our end use that it feeds into all the
3 time." It's a little more broad in terms of feeding our
4 thinking on a wide variety of issues.

5 MR. MENDELSON: Right, and that's what I
6 imagined. But, yeah, it would be great to be able to
7 compare the work you do here to how the market is
8 saying, you know, responses to investor-owned utility
9 RFPs, or what have you, that are relevant just to really
10 inform the process.

11 MR. RHYNE: All right, thank you.

12 MR. BLAIR: This is Nate Blair. I had one more
13 quick comment on the periodic nature of updates and I
14 think one thing that could be helpful is - is just
15 assigning more work - but is to have some discussion in
16 the documentation and the model itself about the
17 responsiveness to commodity prices in the individual
18 technologies, and I apologize if that's already in
19 there, but I think at NREL we've done some work with -
20 we have older cost estimates that, you know, how do you
21 update those in the next intervening couple of years,
22 and certain technology cases that, you know, the big
23 drivers are really these massive increases in commodity
24 prices. And I think in terms of how you deal with these
25 numbers in the intervening years, that's obviously one

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 of the big drivers. Thanks.

2 MR. RHYNE: Okay, thank you. All right, so I've
3 just got a couple more questions. The first is that we
4 produce a large list of technologies that we cover in
5 our report. That list, as has been noted, I think by
6 Joel and by others, is pretty time and resource
7 intensive to make sure that we've captured all of the
8 relevant issues associated with them. And, in fact, if
9 you go out to our 2018, we include technologies there, I
10 think offshore wind being one of them, that aren't
11 currently kind of on the radar, or being physically
12 built today, but could be if you go out five or 10
13 years. So, the question to the panelists is, is there a
14 subset of these technologies that we really should be
15 focusing on? Or, conversely, are there any technologies
16 that we really should just let go from this analysis and
17 spend the rest of our resources on focusing on the
18 remainder?

19 MR. KLEIN: Why don't you put our list up that
20 we - the table I had before? The table of levelized
21 costs. Because I don't know offhand if everybody knows
22 what that list -

23 MR. RHYNE: Here it is.

24 MR. KLEIN: Can you blow that up at all? It's a
25 little hard to read.

1 MR. RHYNE: All right, so I think that's our
2 list there.

3 MR. KLEIN: Later on, like I said, we have
4 nuclear was on our -

5 MR. RHYNE: Yeah, so we have a next generation
6 nuclear power plant and an offshore wind, I think both
7 of which get added in 2018 for this list.

8 MR. PLETKA: Yeah, I think you have too many. I
9 went through the exact same process. You know, for our
10 products thing, we had a whole list of potential things
11 that was as long as yours plus a whole bunch of energy
12 storage things, wave energy, tidal energy, all this
13 stuff, and we came down to what do we think our end
14 users for our product would be most interested in,
15 particularly on the six-month update kind of cycle, and
16 it's probably half the number of technologies that you
17 have. We do have two simple cycle, you know, a frame
18 machine and aero derivative, a single combined cycle, a
19 coal unit, and you've got a coal unit, right, IDCC, one
20 biomass technology, I mean, I don't think there's really
21 any difference between fluidized and stoker in terms of
22 capital costs, and one geothermal. So we sort of like
23 get it down to probably about 10 technologies, maybe it
24 is. And it makes it much more manageable and I can
25 understand how you might want to like include some of

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 these potentially advanced technologies as an
2 interesting thing because maybe we should encourage
3 those, perhaps they would just be done every other time
4 you update things, or it might be a special study or
5 something like that.

6 MS. CHAIT: I'd like to add also that it might
7 be beneficial, given this is California and there is
8 quite a bit of solar procurement that you add, a
9 breakdown for fixed and tracking solar PV and also for
10 solar thermal with and without storage. So, maybe add a
11 little additional granularity on those resource types if
12 you're removing some of the others.

13 MR. PLETKA: Yeah. We do the same thing. That
14 would be good.

15 MR. RHYNE: Okay, any other feedback?

16 MR. SILSBEE: The concern we have had in the CTs
17 is just the labeling of small conventional and advanced,
18 and I think greater clarity on what the specific
19 technology is would be helpful to us to better
20 understand the cost estimates. I do agree that there's
21 probably some reason to, on an ongoing basis, try to
22 trim the list to take things out that just don't seem
23 realistic in California. What you may find is you're
24 adding as many as you're taking out, though, just
25 because of the interest in looking forward to things

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 such as the potential for the mix in storage with the
2 solar facilities.

3 MR. RHYNE: All right, thank you. So the last
4 question that I have for you for the day, and actually,
5 you know, I'm going to hold off, are there any other
6 comments or questions from folks in the audience or
7 folks online before I hit everyone with my last
8 question? Going once?

9 MR. NELSON: Yeah, I have one question.

10 MR. RHYNE: Go ahead.

11 MR. NELSON: This is Ken Nelson with Element
12 Markets. Just to re-touch on that one question that a
13 previous - somebody else brought up here just a bit ago
14 regarding the CPUC and the CEC's - how this actual
15 modeling will be used. Is there any attempt to
16 harmonize the models between the two groups or just to
17 try to get a sense of some of these concepts that are
18 coming out in this discussion are very relevant, but I
19 would be interested to know if there is an attempt to
20 harmonize the application.

21 MR. RHYNE: Yeah, so, this is Ivin Rhyne again.
22 I think the word "harmonize" could be - you could read a
23 lot into that. I think there is a great deal of effort
24 going on right now to make sure that what we do in terms
25 of a levelized cost model, or a cost model however it is

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 ultimately presented, is consistent in principle and to
2 whatever extent is reasonable and also in application,
3 with the work that is done at the Public Utilities
4 Commission, and that it actually is useful in
5 proceedings, both internally and externally there at the
6 Public Utilities Commission. To say that they will ever
7 be completely 100 percent harmonious, I think, would
8 perhaps kind of undermine the two very different, or
9 slightly different, at least, purposes of the
10 organizations where we work in tandem, but we kind of
11 have different roles with regard to, you know, moving
12 forward in energy policy in the state. So, to the
13 extent that it is practicable and reasonable, we will
14 absolutely be trying to harmonize and align with the
15 work that is being done at the PUC.

16 MR. KLEIN: This is Joel Klein. I have one more
17 qualifying comment. One of the problems that we've had
18 in the past is the CPUC would ask us for an assumption
19 or something, and the timing just wasn't right that we
20 could provide it to them at that time, so timing is
21 always an issue in these things, having the right data
22 at the right time, but we do try to work together and,
23 wherever they can, I notice the CPUC will use our
24 assumptions.

25 MR. NELSON: Okay, thank you.

1 MR. RHYNE: All right, thank you. Any other
2 comments or questions online? All right, looking over
3 to my technology guys, they're both kind of shaking
4 their heads.

5 So with that, I'm going to kind of wrap up with
6 a big question to the panel. And I've kind of alluded
7 to this previously, that the Commission is looking
8 broadly at the approach that we have used in the past
9 with regard to estimates in modeling generation costs,
10 specifically for new generation technologies. Given
11 that we are moving forward and trying to formulate and
12 form energy policy in the state, do the panelists have
13 any specific comments or questions - really, comments or
14 suggestions, I should say, about whether or not the CEC
15 should be doing an incremental change to the model as it
16 stands today, or should we be fundamentally revisiting
17 this model and kind of starting from scratch in other
18 ways in attempting to capture some things fundamentally
19 different about how we approach this question?

20 MR. KUBASSEK: Our recommendations are purely -
21 are designed to be just incremental, so I don't think we
22 would say go completely revamp your model. What we're
23 recommending, I was just looking at these additional
24 implicit costs that just haven't really been thought of
25 before, about how to even approach them within a

1 levelized framework, and as a resource for informing
2 policy, putting these issues out there, I think, is
3 valuable, especially as we're trying to move the state
4 forward.

5 MR. SILSBEE: I'll just point out that Paul
6 Joskow, who is a noted economist from MIT that works
7 quite a bit in the electricity industry, did a paper a
8 little while ago commenting about the misleading nature
9 of LCOE analysis and suggested that it be replaced with
10 more of a cash flow type approach, similar to how
11 developers would look at the economics of a project.
12 We're mindful of that suggestion. What we've tried to
13 do is mirror it with incremental changes because we
14 think there is such a degree of utilization of levelized
15 cost models in the industry that it would be hard to
16 just throw them out completely. I think there is value
17 to making changes to capture some of these indirect
18 costs. I think if the CEC were to abandon that kind of
19 effort, there would be other people out there who would
20 continue to use levelized cost of energy models without
21 the caveats or the asterisks. So I think there is an
22 opportunity for the CEC to take a leadership role here
23 and try to advance the state of the technology and, in
24 doing so, educate people on how best to think about
25 comparative generation costs.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 MR. RHYNE: Thank you.

2 MR. PLETKA: My view is I think maybe just some
3 incremental changes, I think, in line with the other
4 comments. Today I would support simplification more
5 than anything else, and tightening of what it is you're
6 trying to do, and do that as well as possible, as well
7 as you possibly can. The kind of overarching comment, I
8 mentioned it this morning, but it's still surprising to
9 me that there's not, within our nice country that we
10 have here, one reputable source of real good cost of
11 generation information that - there are a lot of people
12 working on it, but it's sort of surprising, I guess,
13 that the CEC feels that it's its responsibility to make
14 sure that you can put out something that you can rely
15 on. We've got the Department of Energy doing their
16 thing and EPRI does their thing, and there are all these
17 different sources, and whenever you look at anybody who
18 puts out cost of generation information, you try to
19 figure out where is it really from. So, I don't know if
20 there's some way that the CEC and the folks here from
21 NREL can work to have a more robust dataset that we can
22 rely on nationally. And, even, I was looking at some
23 stuff last week and, you know, the IPCC, the
24 Intergovernmental Panel on Climate Change, looks at
25 information like this and they were looking at some data

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 from 2007 for biomass policy which was just way way out
2 of line. There needs to be a better, more reliable
3 source of this type of information, and I think the CEC
4 could definitely play a part in that. So, that's my
5 suggestion.

6 MR. CUTTER: Just continue going around the
7 table. Also, there's a lot that's valuable in the
8 current report and model and Mike was advocating before,
9 I think, that incrementally changing that and focus on
10 what it can be used for and done well, rather than
11 trying to do a wholesale change and capture a whole
12 bunch of these other goals that various models might
13 espouse. But I would say that the detail that is in the
14 model is often very helpful. The CEC reports the only
15 good one I know of that really gives you a flavor for
16 different heat rates and heat rate degradation and a
17 good reputable source - Joel, in particular, has done an
18 admirable job of understanding all the NERC criteria and
19 all these different rates and how to interpret that in
20 the results. And so there's a lot of useful - it's very
21 useful having the detail available either in the model
22 or in the appendices of the report, so I don't want to
23 get too simple. From the point of view of working an
24 awful lot with the CPUC and using or not using inputs in
25 the Cost of Generation Model, it always comes back to --

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 in any of these proceedings -- the numbers that
2 eventually get used are ones that make some intuitive
3 sense, either to the stakeholders, or to their real
4 world experience, and I know, as much as Richard and
5 Joel have tried to argue that their survey of actual
6 plant data is the best source of data, and I think there
7 is a strong argument for that being the case, you can
8 never get very many people at the CPUC or that
9 stakeholder group to get comfortable with the fact that
10 a CT had a higher capital cost than a CCGT on a per Kw
11 basis. That just ended up being a non-starter. As much
12 as the data may have presented that. I think some
13 outreach could help that. You could get a limited set
14 of participants at the hearings up here at the CEC. We
15 worked an awful lot on this Cost of Generation Model,
16 having no input from a developer for many years, same at
17 the MPR. So I was very glad to have Michele's
18 experience finally get put in here. So, perhaps more
19 one on one outreach, somehow. But getting that real
20 world experience reflected makes it more useful and
21 having all the justifications in the world and rationale
22 for having a different assumption, I've just found,
23 never carries water in a public proceeding like someone
24 just saying, "Well, historically they've run at 60
25 percent." And even though we know that's not right,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that carries a lot of weight, that there's historical
2 data out there. So, that's a long way of saying, 1)
3 keeping a lot of the detail is very useful, but trying
4 to have results that mirror what people are seeing out
5 in the world and are using in the various proceedings
6 helps to get used and not just dismissed out of hand, as
7 robust as the survey or calculations are. I guess I
8 would also add that the 2009 update to the 2007 that
9 gave a lot more detail on the survey of plants was also
10 extremely useful.

11 MR. RHYNE: Good. Thank you.

12 MS. CHAIT: Yeah, I guess I definitely agree
13 with Eric. We refer to not only the data in the tables,
14 but also the back-up data that has the heat rates and
15 capacities and thing like that, so retaining all that
16 data is extremely useful. I also agree with everybody
17 else that a whole-scale revamp of this model is
18 absolutely not necessary, and I think that some focused
19 additional information with respect to certain of the
20 technologies could provide a little bit more detail on
21 those and potentially we find some of the cost estimates
22 like cost of capital, capital costs, and potentially
23 some tax ranges, I think that you'd be able to produce a
24 really robust next version of the Cost of Gen Report.

25 MR. RHYNE: Good, thank you. Any comments from

1 our participants online?

2 MR. MENDELSON: It seems that a large
3 percentage of the discussion today was regarding to what
4 extent and how to include system impact costs as a part
5 of the metric or as a secondary metric, and it seems
6 that, to the extent you were to revamp the model, it
7 would be to incorporate those types of costs. I guess
8 considering that most likely requires a production
9 simulation effort, it's probably best to do outside of
10 this model and, you know, through thorough analysis
11 include it as an input or a series of inputs into this
12 model. That being said, I guess it's how properly to
13 evaluate those system impact costs and refer to them,
14 and who to rely on to run those models because,
15 traditionally, you have the utilities that have that
16 capability, I don't know to what extent the CEC has that
17 capability, but - NREL does, as well, but I would think
18 there would be a need for sort of a solid working group
19 among the stakeholders to get a better understanding of
20 that key input.

21 MR. RHYNE: Thank you.

22 MR. MENDELSON: Sure.

23 MR. RHYNE: All right, any last comments either
24 online or from inside the room? We've got one. If you
25 will come to the podium?

1 MR. BECK: I'm Curt Beck. I'm from the Board of
2 Equalization in the Property Tax Department. And I just
3 want to say that we value the report and relate it - we
4 use the capacity factors, heat rates, and some of the
5 ERC information that Joel has provided in the past and
6 we find it very useful. And as far as cap rate
7 information, you're welcome to provide any input in
8 every February. Thank you very much.

9 MR. RHYNE: Thank you. All right, any other
10 comments? All right, and with that, I want to thank our
11 panelists for participating and Al will wrap us up and
12 see us out the door for the day. Thank you very much.

13 MR. ALVARADO: Well, there's really not much
14 more I can really say here. I do appreciate this
15 discussion. When we initiated this Levelized Cost of
16 Generation Study, which goes back to 2003, we really had
17 some very modest beginnings in our intentions.
18 Initially, pre-deregulation, we used canned black box
19 models and I think it was like FAS 123, or something
20 like that, but our original intention was to come up
21 with an easy to use, transparent tool, but our mission
22 has sort of evolved since then, you know, questions
23 about evolving technologies, getting a better
24 understanding of the main cost drivers, you know, what
25 will change in the future, but we've also tried to field

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 numerous questions about comparative costs. And we've
2 encountered folks that would pick the results of one
3 study or the other without really understanding what
4 underlies a lot of the assumptions. And if there are
5 any sort of common boundaries between the assumptions,
6 we really want to sort of weave a thread through a lot
7 of the technologies that have very common variables.

8 As we discussed today, we're ready for our next
9 evolutionary step, trying to go to the next level.
10 Levelized cost is - I have always considered it just one
11 of many building blocks we engage in resource planning
12 efforts. There were suggestions about - we do have
13 production cost models, so I don't know if there is a
14 way of sort of merging some of these cost estimates with
15 total system cost evaluation of portfolio costs and
16 ratepayer impacts, but I think we have a lot to sort of
17 chew on after this discussion here.

18 In terms of next steps, we would really welcome
19 any written comments if there is anything else, at least
20 our panel members have, to supplement what you've
21 already provided to us, or if there is any other
22 workshop participants or stakeholders, we're open to
23 receive comments. We're asking if you can submit those
24 comments to us by May 31st and we have details in our
25 workshop notice in terms of where to send it to us.

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 Also, as a follow-up to what Ivin initially said, we are
2 - nothing is really set in concrete here in terms of a
3 project plan, and so we're going to bring a lot of this
4 discussion forward to our management and our
5 Commissioners, and examine really what is going to be a
6 next step. Ivin indicated maybe let's shoot for an
7 update cycle instead of right in the middle of an IEPR
8 cycle; that way, we'd have - if we do come up with any
9 cost updates, we're ready to apply those costs when we
10 engage in our resource planning studies.

11 So, with that, I do appreciate the discussion.
12 I really appreciate the participation. I know that some
13 of you worked really hard to send our slides until very
14 late last night, even. Thank you. And thank you,
15 everyone else, who has participated. With that, the end
16 of the workshop.

17 (Adjourned at 4:11 p.m.)

18

19

20

21

22

23

24