

DATE JUN 22 2011

RECD. JUL 27 2011

BEFORE THE

CALIFORNIA ENERGY COMMISSION

In the Matter of,)
) Docket Docket No. 11-IEP-
IEPR Committee Workshop on) 1G, 11-IEP-1H
Distribution Infrastructure)

**Committee Workshop on Distribution Infrastructure
Challenges and Smart Grid Solutions to Advance 12,000
Megawatts of Distributed Generation**

CALIFORNIA ENERGY COMMISSION

HEARING ROOM A

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

WEDNESDAY, JUNE 22, 2011

9:35 A.M.

Transcribed from a WebEx recording

Commissioners Present

Robert Weisenmiller PhD, Chair and Presiding Member,
IEPR Committee
Karen Douglas, Associate Member, IEPR Committee
Carla J. Peterman, Presiding Member of Renewables
Committee

Staff Present:

Paul Feist, Advisor to Karen Douglas
Jim Bartridge, Advisor to Carla Peterman
Kevin Barker, Advisor to Robert Weisenmiller
Suzanne Korosec, IEPR Lead
Linda Kelly, California Energy Commission
Michael Gravely, California Energy Commission
Rachel MacDonald, California Energy Commission

Also Present (*on phone)

Panelists

Christopher Villarreal, California Public Utilities
Commission

Panel 1:

Jon Eric Thalman, Pacific Gas and Electric Company
Robert Sherick and Gary Holdsworth, Southern California
Edison Company
Tom Bialek, San Diego Gas and Electric Company
Neil Millar, California Independent System Operator

Panel 2:

Frances Cleveland, Xanthus Consulting
Bob Yinger, Southern California Edison Company
Tom Bialek, San Diego Gas and Electric
*Ben Kroposki, National Renewable Energy Lab
Don Von Dollen, Electric Power Research Institute
*Brian Seal, Electric Power Research Institute
Jeff Berkheimer, Sacramento Municipal Utility District

Panel 3:

John Dennis, Los Angeles Department of Water and Power
Craig Kuennen, Glendale Water and Power
Jeff Berkheimer, Sacramento Municipal Utility District

Craig Lewis, California Clean Coalition
Timothy O'Connor, Environmental Defense Fund
Eugene Shlatz, Navigant Consulting
Alexandra (Sasha) von Meier, California Institute for
Energy and Environment
Kurt Yeager, Galvin Electricity Initiative

Also present:

Gerald Bateson
Merwin Brown, CIEE
Dave Brown, Sacramento Municipal Utility District
*Barbara George
Frank Goodman, San Diego Gas & Electric
Jaclyn Marks, California Public Utilities Commission
Andrew McAlister, California Center for Sustainable
Energy
Alan [Last name not announced], East Bay Power

I N D E X

	Page
Introduction	
Suzanne Korosec, IEPR Lead	6
Opening Comments	
Chair Robert Weisenmiller, Presiding Member Commissioner Karen Douglas, Associate Member	10
Comments from the California Public Utilities Commission	11
Christopher Villarreal, California Public Utilities Commission	
PANEL 1:	
Planning for interconnecting and integrating 12,000 MWs of DG into the Distribution System	18
Moderator: Linda Kelly, Clean Energy Commission	
Jon Eric Thalman, Pacific Gas and Electric Company Robert Sherick, Southern California Edison Company Gary Holdsworth, Southern California Edison Company Tom Bialek, San Diego Gas and Electric Company Neil Millar, California Independent System Operator	
Public Comments	79
Presentation: Transforming the Grid - Power to the Customer	85
Kurt Yeager, Galvin Electricity Initiative	
PANEL 2	
Inverter functions to support the safe management of increasing amounts of local distributed generation and storage on distribution systems throughout the state.	105
Moderator: Frances Cleveland, Xanthus Consulting	

I N D E X

Page

Panelists:

Bob Yinger, Southern California Edison Company
Don Von Dollen), Electric Power Research Institute
*Brian Seal, Electric Power Research Institute
Ben Kroposki, National Renewable Energy Lab
Tom Bialek, San Diego Gas and Electric
Jeff Berkheimer, Sacramento Municipal Utility District

PANEL 3:

**Publicly Owned Utilities Perspectives and Strategies
to support the state's new increased renewable distributed
generation goals and smart grid technology options** 163

Moderator: Rachel MacDonald, California Energy Commission

John Dennis, Los Angeles Department of Water and Power
Craig Kuennen, Glendale Water and Power
Jeff Berkheimer, Sacramento Municipal Utility District

**Discussion: Assessing Smart Grid Investments to Benefit
Customers and the Environment** 183

Timothy O'Connor, Environmental Defense Fund

**How Research Development and Demonstration can Help
Advance Distributed Generation** 195

Mike Gravely, California Energy Commission
Alexandra von Meier, California Institute for Energy and
Environment

**Discussion: Strategies for Grid Connection- Making
Distribution Grid Interconnection Costs and Timeframes
Reasonable and Predictable.** 217

Craig Lewis, California Clean Coalition

**Discussion: Distribution System Upgrades to Accommodate
12,000 MW's of Distributed Generation - possible solutions
and trade-offs** 235

Eugene Shlatz, Navigant Consulting

Adjournment 254

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

JUNE 22, 2011 9:35 a.m.

CHAIRMAN WEISENMILLER: Good morning. Let's start the meeting.

MS. KOROSSEC: All right. Good morning, everyone. I'm Suzanne Korossec, and I manage the Energy Commission's Integrated Energy Policy Report Unit. Welcome to today's workshop on Distribution on Infrastructure Challenges and Smart Grid Solutions to Advance the State's Distributed Energy Goals. This workshop's being conducted by the Energy Commission's Integrated Policy Report Committee.

Just a couple of quick housekeeping items before we get started. Restrooms are out in the atrium, through the double doors and to your left. We have a snack room on the second floor, at the top of the stairs, under the white awning. And if there's an emergency and we need to evacuate the building, please follow the staff outside to Roosevelt Park which is diagonal to the building, and wait there until we're told it's safe to return.

Today's workshop is being broadcast through our WebEx conferencing system, and parties need to be aware that it is being recorded. We'll make an audio recording available on our website a few days after the

1 workshop, and a written transcript. However, we had a
2 technical glitch this morning. Our Court Reporter
3 called in sick so we're going to have to be relying on
4 the WebEx recording for our written transcript. We
5 would like you to be aware that each time you speak to
6 please identify who's speaking since we don't have a
7 person physically here to denote who's speaking at each
8 point of the day. We will also be asking you during the
9 public comment period to fill out the two comment cards
10 that are available on the table out in the foyer with
11 your name and affiliation so that we can make sure that
12 those are reflected correctly in the transcript.

13 Also during the public comment period, please
14 come up to the microphone at the center of the room so
15 that we can make sure that the WebEx participants can
16 hear you. And it's also helpful if you can give one of
17 us your business card if you do come up to speak.

18 For WebEx participants, you can use either the
19 chat or raised hand function to let our WebEx
20 coordinator know that you have a question or comment and
21 want to relay your question or open your line at the
22 appropriate time. Those that are participating only by
23 phone, we'll open the phone lines at the very end of the
24 public comment period. We're accepting written comments
25 on today's topic until July 6. And the notice for

1 today's workshop, which is available on the table in the
2 foyer, has the information on how to submit the
3 information to the IEPR docket.

4 So briefly on how this fits into the
5 Integrated Energy Policy Report, the Energy Commission
6 is required to prepare an IEPR every two years that
7 includes assessments of things like energy supplies,
8 demands, price, transmission, distribution and provides
9 recommendation for energy policy forward. This year a
10 critical element of the IEPR is the Governor Brown's
11 Clean Energy Jobs Plan. Among other things, that plan
12 calls for building 12,000 megawatts of localized
13 electricity generation and 8,000 megawatts of large
14 scale energy renewables and necessary transmission lines
15 by 2020 and also developing energy storage to reduce the
16 need for peaker plants and out-of-state coal imports and
17 to help firm up renewables.

18 As directed by the Governor's Plan the Energy
19 Commission is preparing a renewable energy strategic
20 plan as part of the IEPR. This will identify challenges
21 to meeting our renewable energy goals and to provide
22 suggested strategies to address those challenges. We
23 anticipate releasing the first draft of that report at
24 the end of August and holding an IEPR Committee Workshop
25 on September 14 to get public comments. Obviously,

1 distribution level integration is going to be one of the
2 major challenges that will be covered in the renewable
3 strategic plan. Our electric distribution system is the
4 largest element of the overall electric system but it
5 wasn't designed to accommodate the amount of renewables
6 that are envisioned in the state's policy goals. We'll
7 need to be modernizing our aging distribution system
8 using new distribution automation and smart grid
9 technologies to improve power quality and reliability,
10 develop uniform standards and cyber security measures
11 and coordinate distribution and transmission system
12 planning. Our agenda today begins with comments by the
13 CPUC, followed by two panels this morning. The first
14 covering the Investor and Utility Plan for
15 interconnecting and integrating 12,000 MWs of DG and the
16 second covering inverter function to support the
17 management of increased DG in storage in the state's
18 distribution system. We'll next have a presentation
19 from the Galvin Electricity Initiative on DG
20 Infrastructure and Solutions and then we'll break for
21 lunch hopefully around 12:15.

22 In the afternoon, we'll reconvene with a panel
23 on publicly owned utility perspective and strategies.
24 Next, we'll have a presentation from the Environmental
25 Defense Fund on assessing smart grid investments to

1 benefit customers and the environment followed by a
2 discussion of how R&D can help advance DG. We'll then
3 hear from the California Clean Coalition about
4 strategies for grid connections and from Navigant
5 Consulting on possible solutions and tradeoffs involved
6 with distribution system upgrades. We'll finish up the
7 day with an opportunity for public comment. We have a
8 very full agenda so I won't talk very much longer and
9 I'll turn it over to the Chair for opening remarks.

10 CHAIRMAN WEISENMILLER: I'd like to thank
11 everyone for their participation today. Obviously, I
12 think, we're bringing together two interesting and
13 important topics and, as Suzanne said, we have a pretty
14 packed agenda so I'd just assumed we start.

15 MS. KOROSEC: All right. I'll turn it over to
16 Linda Kelly, our distribution guru, and she'll take us
17 through the workshop.

18 MS. KELLY: As Suzanne said we have a full
19 agenda so I'll just go right into the agenda. Our first
20 presenter will be Christopher Villarreal from the CPUC
21 and he's going to give us an update on the smart grid
22 proceeding at the CPUC. Chris is a Regulatory Analyst
23 in the Policy and Planning Division of the California
24 Public Utilities Commission. He is a staff team lead on
25 the CPUC's smart grid proceeding. Chris has been

1 instrumental in helping the CPUC develop policies
2 related to smart grid deployment plans, privacy, third-
3 party access and cyber security. In addition, Chris has
4 been involved as part of our Commission Staff on a
5 number of other issues including demand response and
6 dynamic planning. Chris?

7 MR. VILLARREAL: Good morning. I'm Chris
8 Villarreal with the California PUC. I want to thank
9 Chairman Weisenmiller and the CPUC for inviting me to
10 participate this morning. As Linda said, I'm just going
11 to be giving a relatively short overview of where the
12 CPUC is at on their ongoing OIR. The first couple of
13 slides are mainly for—I don't need to go over them.
14 I've presented on them to you before, last December, so
15 they're largely here for historical purposes. I'll just
16 skip right on over to the deployment plan.

17 As you may remember, the legislature in 2010
18 passed SB 17 which directed the PUC to develop a
19 requirement for a smart grid deployment plan. In June
20 of last year we issued a decision. The decision said
21 that the deployment plans must address eight topics:
22 smart grid vision, a baseline strategy, grid security
23 and cyber security strategy, smart grid roadmap, cost
24 estimates, benefits estimates and metrics. The
25 deployment plans are due to be filed by July 1 of this

1 year.

2 San Diego came in well ahead of the deadline.
3 They filed theirs with the PUC on June 6. The
4 deployment plan was organized by the eight topic areas
5 but identified within the eight topic areas, nine
6 program areas. And I'm going to spend a little bit of
7 time talking about San Diego.

8 So the nine areas that they identified for
9 their deployment plan is customer empowerment, that
10 includes providing customers with additional
11 information, how to help customers make more use of the
12 information that we made available to them from the near
13 home area network and other tools. The second one is
14 renewable growth which includes integrating renewables
15 to make an impact of the renewables on the grid partly,
16 I imagine, that some of this will be discussed today.
17 Electric vehicle growth is very similar to renewables,
18 how to mitigate the impacts of electric vehicles on the
19 distribution grid. Reliability and safety, some of the
20 programs that they've identified are advanced measuring
21 and identification technologies including VAR dynamic
22 ratings and voltage ratings. Again, this is to help as
23 more technology information is available down on the
24 distribution grid, this information will help San Diego
25 plan better for the future. Security, operational

1 deficiency, There are such things as arc detection for
2 fire prevention, smart grid RD&D. One of the examples
3 of that is funding for microgrid projects. Integrating
4 cost cutting systems deals with communications
5 infrastructure and other technologies that cut across,
6 not just simply energy but on the communications side.
7 And workforce development. As I think many of us are
8 aware, the workforce is beginning to age a little bit
9 and the utilities as well as the PUC have to deal with
10 increasing amounts of retirements coming up, so how do
11 we bring the workforce up to speed and how do we
12 encourage more workforce to take over the openings.

13 This is a list of cost and benefits. I threw
14 this up here because it's nice to see the numbers. What
15 I'll point out is that those are five and ten year
16 estimates and provisional numbers. The estimated cost
17 of \$3.5-3.6 billion to do all the programs that they've
18 identified with estimated benefits of \$3.8-7.1 billion.
19 So those numbers are, obviously, dependent upon the
20 technology, how the market develops, whether or not
21 things can be—if cost can come down in the future. This
22 is just a snapshot of where we are today, June 22, 2011,
23 and what might be possible ten years from now. So I
24 think we want the cost and benefits but we also want to
25 appreciate that these numbers are very fluid because

1 it's unclear what technology will bring in the coming
2 years.

3 So, what are we going to do next? As I said,
4 the deployment plan for Edison and PG&E are due by July
5 1. I suspect that we'll get them right around July 1.
6 What we plan to do is, in coordination with the CPUC and
7 the ISO, we'll hold a series of workshops to review the
8 deployment plan, for the reasonableness - whatever
9 reasonableness that they mean, and then to ensure some
10 consistency across the deployment plans. I suspect the
11 workshop will be held throughout the year and into the
12 beginning part of next year. And just a reminder that
13 an approval of the deployment plan does not mean cost
14 recovery. Cost recovery and approval to a specific
15 program will still need to be done through the general
16 rate case or through a separate application. San Diego
17 and Edison are both in the middle, beginning to middle,
18 of their GRC phase right now. San Diego recently issued
19 a notice to the GRC Service list that they're going to
20 have a public meeting to discuss how the deployment plan
21 integrates with their existing GRC.

22 So I can't do a status update without talking
23 about private and third party access proposed decisions.
24 That's not necessarily on the topic of this discussion
25 for this workshop but I think it's part of the status

1 update. So the PUC issued our privacy and third party
2 access for proposed decision on May 6. Initial comments
3 were filed on June 2. We got 25 commentors and reply
4 comments were filed on June 8. The major item from the
5 proposed decision are that it implements SB 1476 on
6 privacy and security requirements and utilities, it
7 aligns California with the Fair Information Practice
8 Principles which are the basis for a number of federal
9 privacy statutes and rules. It directs the utilities to
10 provide additional information and tools to customers to
11 better manage usage. It proposes that pilots provide
12 prices in near real-time. That does not mean real-time
13 pricing programs. It just means providing the price of
14 electricity to customers in as near real-time as
15 possible. It proposes a pilot to provide customers to
16 connect devices to the meter through the home area
17 network. It requires the utility to notify the PUC upon
18 a security breach affecting 1,000 or more of their
19 customers. And it would initiate a new phase of the
20 rulemaking to determine applicability of the privacy
21 rules upon gas companies, electric service providers and
22 community choice aggregators.

23 I suspect, and I hope, that this decision will
24 likely not be voted out of our Commission meeting next
25 week. I'm hoping that it will be voted out at our first

1 meeting in July, on July 14. So that is basically the
2 status of where we are. I'd be happy to answer any
3 questions that you may have.

4 CHAIRMAN WEISENMILLER: Thank you very much
5 for being here and for your presentation. And we
6 appreciate CPUC's participation in this proceeding. I
7 guess a couple of questions that I have are that as
8 SDG&E deployment plan numbers. My impression is that
9 they included the smart meters that have been rolled
10 out, is that correct?

11 MR. VILLARREAL: The benefits may have—I
12 believe the benefits did but the costs, since they were
13 already approved, would not be new additional costs they
14 would be existing baseline costs.

15 CHAIRMAN WEISENMILLER: Okay. That's good
16 clarification. And the other question that I had. One
17 of the issues on the smart meter rollout has been,
18 whether the good or bad news, has been consistency
19 across the utilities. So in terms of the smart grid,
20 again, I was wondering how you would try to deal with
21 having three individual applications and encouraging
22 experimentation but at the same time trying to have
23 enough consistency so that, let's say, the Cal ISO is
24 more of a single type of interface.

25 MR. VILLARREAL: Well, procedurally, the first

1 thing we'll do is we consolidate the three applications
2 so that we'll have one judge, one set of staff and one
3 assigned commission that is flipping the various
4 applications across the Commission. By consolidating
5 them we'll be able to have a series of coordinator
6 workshops where CPUC staff and ISO staff will be able to
7 participate directly with development of the deployment
8 plan. How we then approve the deployment plans and what
9 that actually end up meaning, I believe, is still to be
10 determined. Again the deployment plans are not
11 approving costs and programs. So the end result will
12 still be this is the plan, this is an approved plan, but
13 you still have to get money funded through the GRC.
14 That's just what our thinking is right now. As we get
15 our other two deployment plans in and as we start
16 working through the workshop that strategy may change.
17 We may find a better way to do this but for now that's
18 the idea that we have.

19 CHAIRMAN WEISENMILLER: That's good. The last
20 question that I have is obviously one of the things that
21 we're dealing with on the distribution system is a lot
22 of it is circa 1950s vintage and so to some extent the
23 smart grid is both the replacement and the
24 modernization. Do you have a sense of if the San Diego
25 part what the split is between the replacement and

1 modernization?

2 MR. VILLARREAL: I do not at this time. Tom
3 Bialek is here and when it's time for his panel, I'm
4 sure you could ask him that asks and he'd have a much
5 better answer than I could. What I will say is that the
6 deployment plan, which I happen to have right here, is
7 right around 300 pages and in that 300 pages there is a
8 lot of specificity but I think it could still be more
9 specific and that is something that we'll continue to
10 address over the upcoming months is to get the more
11 specifics out of this thing through data requests or
12 through workshops with the utilities to really be able
13 to answer that question, that exact question, you asked.

14 CHAIRMAN WEISENMILLER: Thank you very much.

15 MS. KELLY: The next item on our agenda is a
16 panel. And this panel is looking at Planning for
17 interconnecting and integrating 12,000 MWs of DG into
18 the Distribution System. And we've invited the three
19 investor-owned utilities to participate in this panel as
20 well as the ISO. This afternoon we're going to talk
21 with the POUs and ask them a lot of similar questions.

22 But what all distribution systems have in
23 common in California is that they were carefully
24 developed and engineered to deliver one way power from
25 central station down to the transmission system

1 substation customer. Today these same utilities are
2 being asked to engineer and update this system with the
3 new California goals. This panel has been asked to
4 individually discuss how, in the next 1-5 years, they're
5 going to plan to deal with aging infrastructure,
6 managing interconnecting hundreds of distributed
7 generation projects on the customer side of the meter
8 and evaluating determining what smart grid technologies
9 they should integrate and when they should integrate
10 them.

11 Traditionally, planning for transmission,
12 distribution and generation has been done in isolation.
13 But just as the one way power grid that we all use and
14 enjoy today is outdated and becoming outdated, this
15 paradigm of planning in isolation is also outdated.
16 Part of the panel will be to discuss how the planning
17 for the future and raise issues and discussions on how
18 to better coordinate that planning as we go forward to
19 achieve those goals of the state.

20 I think that what I'd like the panel to do is
21 that I'll introduce you one at a time and you can just
22 come up and make your presentation and then go back to
23 the table and when we're concluded we'll ask questions
24 of the panel. First, some additional questions I have
25 and then open it for the public.

1 The first person on the panel that we're going
2 to start with, we're going to start on the North. We're
3 going to start with PG&E and this gentleman's name is
4 Jon Eric Thalman and he is a Director of Regulatory
5 Strategy and Support at PG&E. His department supports
6 PG&E's Transmission Owner and General Rate Case
7 Regulatory Filing and supports strategy and policy
8 development for new electric transmission and
9 distribution technologies. Mr. Thalman?

10 MR. THALMAN: Thank, Linda and good morning
11 Commissioners. I'd just like to say that in preparing
12 these remarks we've endeavored to address specifically
13 the questions that were outlined in the agenda and were
14 asked specifically of us and these were broken into
15 three categories. These are planning for the future,
16 what our future plans are, specifically looking at
17 interconnecting DG resources to the distribution system
18 and also how we're incorporating our smart grid goals
19 and our environmental goals into that overall effort.

20 Starting from the top with the planning. Our
21 focus with planning for the distribution system around
22 reliability and flexibility and operational control. It
23 takes many different players modernizing, looking at
24 installing advanced automation and monitoring control
25 technology, focusing our capital investments on

1 installing new tools that can improve the performance
2 from a reliability perspective and from the maintenance
3 perspective. Also using condition based maintenance
4 practices to know when to best make the upgrades and to
5 avoid outages from component failures and also improving
6 human performance just as we execute the work.

7 As was mentioned, a lot of our infrastructure
8 was installed back in the 50s and earlier in the two
9 decades surrounding that. We have an ongoing program to
10 address that. These details are outlined in our GRC but
11 they follow a standard category of substation breakers,
12 wood poles and cable replacements. We're moving forward
13 with that as we expand the smart grid capabilities of
14 the distribution system with automation and control
15 schemes and also being able to draw more information
16 back so that we know more of what's going on so that
17 instead of a passive grid, a distribution grid, it's
18 active and knowledgeable, controlled and up-to-date in
19 monitoring the grid.

20 Some of the challenges as we look at high-
21 levels of DG penetration, of course, and these are
22 topics that I'm sure we'll talk at great length today as
23 we move through the different panels and presenters is
24 maintain service voltages within appropriate limits,
25 dealing with voltage transits for a variety of different

1 reasons whether it be renewable intermittency or
2 changing loads, integrating all of this into system
3 operations. How do you now manage a distribution system
4 that was once a one way feeder operation to a two way
5 more of a network? A lot of work has been done around
6 forecasting measures and we're looking at that also. If
7 you're going to have intermittency is there a way to
8 looking ahead of that. I know that the ISO is looking
9 at that.

10 I mentioned earlier monitoring the control
11 which is an important aspect as you need to have your
12 infrastructure to be able to accomplish those
13 capabilities. And then also these are kind of presented
14 in order of priority from a PG&E perspective. There's
15 also potential for inadvertent islanding. There are
16 appropriate safeguards for that right now but as we go
17 forward and the grid is evolving that is something that
18 we need to address and look at when it would be
19 appropriate.

20 So some of the specific things we're doing to
21 look at pilots in some of these areas that will help up
22 accommodate more DG are some pilots. We have a demand
23 response pilot with the ISO to look at adjusting loads
24 and participating in ISO markets to be able go firm
25 resources for renewables. We have some, two actually,

1 battery storage projects. One of them is going to be
2 operational this fall, a two megawatt system out of
3 Vaca-Dixon, that will be looking at mitigating
4 distribution system impact and also helping to integrate
5 local PV resources in that area.

6 And then, finally, as part of our smart grid
7 plan which will be filed later this month before the
8 July 1 deadline by the CPUC, we're proposing to look at
9 some testing of voltage control systems or volt VAR
10 optimization tools. This will be in a laboratory and in
11 a pilot environment to see how these might perform on a
12 distribution feeder to help control voltage as well as
13 higher penetration levels of DG.

14 So some of the existing tools and new tools
15 we're looking for in distribution planning, or our
16 toolbox, if you will. We're just rolling out a new load
17 tool program this year that helps our distribution
18 planners to model more accurately distributed generation
19 resources and new loads and new types of loads. This
20 program we're integrating our planning and operation
21 functions this year and next year. We also use a more
22 robust planning tool that's used more on the
23 transmission side than the distribution side for
24 modeling interconnections and distributed resources that
25 are under the ISO control. This allows us to analyze

1 the impacts and look at what appropriate updates will be
2 needed for reliability. And then finally in our
3 generation interconnection services we're continuing to
4 look at how to handle the increased level of
5 interconnection requests and to be more effective and
6 efficient in processing those and being more accurate
7 through this database tool we're using to track all of
8 these interconnection requests, thousands and thousands
9 of interconnection requests, and ways in which to
10 aggregate those so that we can better assess the system
11 impacts and know what's going on and what's the plan on
12 their end.

13 This is to shed some context on our
14 interconnection process. The planning process that we
15 look at to interconnect loads and distributed generators
16 has some important aspects that we feel are vital to go
17 forward with the changing face of volt meters. For both
18 new loads and new customers and load growth we look at
19 each one of these on an individual basis for their
20 potential for increasing the--for the need to increase
21 the capacity on the distribution system. So factors
22 such as location, load, service voltage, service point -
23 each one of these needs to be looked at individually
24 while all at the same time keeping accuracy of the
25 process and even being expeditious about it.

1 On the flip side, looking at new distributed
2 generation resources. You also need to look at each
3 resource based upon its circumstances. For both of
4 these we followed similar principles all the while
5 trying to increase and improve the efficiency and
6 accuracy of the study but do it quickly and in a timely
7 manner.

8 Inevitably, and I'm sure Neil will probably
9 touch on this from an ISO perspective, as the amount of
10 distributed generated resources increases it has a
11 bigger impact on the ISO operation. So there's a need
12 for, even at the distribution level, there's a need for
13 coordinating with the ISO. So for large amounts of
14 proposed distribution resource pockets and also
15 transmission connected, there's certain areas where this
16 begins to have a substantial impact on ISO control.
17 Some examples of that are in Fresno and Bakersfield
18 where we're seeing large amounts of distributed
19 resources being proposed and coordination with the ISO
20 is appropriate there. Also the ISO has a responsibility
21 to perform the deliverability assessment as part of the
22 resource adequacy program from the CPUC and to the
23 extent that this has an impact, the ISO needs to be
24 involved. And then also, again, the ISO needs to be
25 involved due to the scheduling—involved in the

1 scheduling items over one megawatt so we need to be
2 coordinated with them.

3 So further points on interconnecting
4 distributed resources to the distribution system. We
5 feel that it is unnecessary to coordinate distribution
6 studies on a statewide basis. We feel that that would
7 be an unnecessary step. For example, for PG&E service
8 territory it's generally not important to coordinate
9 what's going on in Stockton with what's going on in
10 Fresno. So you don't need to have an overarching
11 statewide plan. You can look at these on a local basis.
12 Some suggestions we'd like to provide on some process
13 improvements on your connection study. I think a lot
14 can be done to educate developers and utilities on the
15 process. We find ourselves answering a lot of questions
16 and asking a lot of questions and trying to gain clarity
17 about what the developers' expectations are, what the
18 rules are and helping them understand what the rules are
19 from a utility perspective.

20 I think there could be some further work done
21 on coordinating the procurement programs such as feed-in
22 tariff; we have renewable auction mechanism and then the
23 interconnection process. Some of those could be better
24 coordinated.

25 Also, there's a need for, tying back to the

1 first point on educating for the risk of using a loaded
2 word such as transparency, around some of the market
3 rules. For example power purchasing agreements,
4 interconnection rules and timelines, planning an
5 interconnection group having to answer a lot of
6 questions about purchase agreements. Well, that's not
7 their role. In fact they shouldn't answer that
8 question. That's the energy procurement side. A lot of
9 education for developers to understand, "Yeah, you're
10 understanding to PG&E but you shouldn't ask the
11 interconnection folks about your power purchase
12 agreement." That puts them in an awkward position.

13 We also believe that looking to pre-identify
14 sites could be helpful. We realize that developers are
15 kind of shooting in the dark sometimes and to do some
16 kind of pre-screen to identify needed areas and helpful
17 needed areas would be helpful. And then also when you
18 look at the queues, the interconnection queues, there's
19 projects that have been there for years and, not that it
20 doesn't take time to develop projects and there's lots
21 of hurdles and we want to mitigate those, but perhaps
22 there needs to be a policy where we can help minimize
23 the queue by sun setting some projects when they're no
24 longer viable as there are some hurdles that people have
25 to continue to - that developers have to meet in order

1 to stay in the queue.

2 So touching on the third section, some of our
3 smart grid and environmental goals that we're working
4 towards, there was a question on what air projects we're
5 involved with. Here's two who were a sub recipient of a
6 WDAT grant on the synchrophasor project, there's a
7 matching portion of that as part of a much larger part
8 effort on the Western United States. There's also
9 compressed energy storage project. We're looking at a
10 feasibility study and initial environmental reviews to
11 look at a 300 megawatt compressed air energy storage
12 project down in the Kern County area that's conveniently
13 located with a lot of renewable wind resources and solar
14 resources in that area. There's matching and PG&E funds
15 for that also.

16 If that proves to be feasible and cost-
17 effective then PG&E would go to the next step and issue
18 a competitive solicitation and go to the next phase on
19 that.

20 Some of the other things we're working on, and
21 these are technologies in our general rate case that we
22 filed in 2011 or we're finishing in 2011, excuse me, our
23 smart grid activity has been worked into our historical
24 level of spending so what that implies is the
25 maintenance work and replacement work that we're doing.

1 We're just going in and replacing it with updated
2 equipment for the smart grid. In addition to that we
3 included \$66 million in our—from 2011-2013 on the
4 capital extension forecast for some foundational smart
5 grid deployment component.

6 And a lot of these are focused on information
7 and IQ type of connecting, bringing the data so that you
8 have the visibility of what's out there in the
9 distribution system. A lot of these are focused on this
10 type of component. The actual—a lot of the actual
11 switching and kind of devices that was used to gather
12 the information seems kind of the next wave.

13 Finally, some of this compliments that I
14 mentioned as some of the next wave. These technologies
15 and software—some of the three of these that we're
16 looking at, and I mentioned these earlier, the volt VAR
17 optimization technology, we're looking at that pilot.
18 Once we gain some more security on that then we'll look
19 to move forward in those areas, if it looks viable. We
20 think that that is an area that has promise when you're
21 looking at the issue of controlling voltage on the
22 feeder when you have a large penetration of resources
23 out there. We're also looking at leveraging the
24 capabilities in the smart meters in our area to see how
25 those might be helped—might be a help to the

1 distribution resources in the areas where there are
2 smart meters. And then also, looking to team with
3 inverter manufacturers. We have some studies going with
4 them to examine ways that the new inverters might be
5 able to convert--communicate with the new control system
6 in the distribution system. Just to list that as an
7 example, if you have a voltage problem out on a feeder
8 you might look to employ some type of device like a volt
9 VAR controller or a capacitor or an energy storage
10 device or whatever would be the most appropriate, but
11 you'd have inverters that would control--four quadrant
12 control inverters that might be able to control the
13 megawatt and mega VAR flows and control the voltage.
14 We'd like to look at what would be the viability of
15 involving those in that control using them as part of
16 the grid.

17 So just in summary on this, we've taken
18 somewhat of a conservative approach in calculating the
19 economic benefits of these. This is more of a pilot
20 methodology. We're looking at it and looking at the
21 economics. We have endeavored to quantify some of the
22 CO2 reductions for some of these but we haven't really
23 penciled those in as a financial benefit in our filings.
24 I think that's the end of my presentation. Thank you.

25 CHAIRMAN WEISENMILLER: Thank you, very much.

1 Very interesting presentation. A couple of questions.
2 As the first speaker, you'll probably get more than your
3 fair share. The first one is probably a good
4 opportunity for you to talk about how this plan reflects
5 lessons learned that PG&E got from its smart meter
6 rollout experience.

7 MR. THALMAN: There's many lessons learned
8 from smart meter. I think one of them—I mean the
9 biggest lesson from smart meter is communication with
10 its customers, I believe. The technology issues and the
11 rollout were appropriate and expeditious but it's
12 communicating to your customers and if you bring more
13 tools down to the customer level as more as the
14 operation and control of the systems is brought down to
15 the customer level then we believe it's more important
16 for them to understand what's going on with us. For
17 example, our customers are installing renewables on
18 their—say they're going to put PV on their rooftop or
19 there's something going on in their community level,
20 it's important to communicate with customers so those
21 messages don't get sideways so they see this as an
22 advantage and an improvement in their energy usage and
23 delivery.

24 COMMISSIONER PETERMAN: A follow up question
25 to that Jon. The technology infrastructure upgrades

1 that you mentioned focus in the areas of information
2 exchange, data management and data storage that are part
3 of the GRC. Once you do those, do those require new
4 meters to be installed? To then be compatible?

5 MR. THALMAN: Ideally it would not. We're not
6 looking to have to install meters. But that's somewhat
7 constrained what you're looking at but if you're
8 building from the ground up with a foundation of devices
9 that will collect the state information versus the meter
10 and an information system that will communicate that and
11 aggregate it and then next you have the devices that
12 will use that for moving that which we believe is a
13 natural way to progress, you do narrow your options,
14 obviously. But we believe that that's a natural way to
15 progress - that you start with collecting the data and
16 bringing it together and then the right equipment to
17 utilize that.

18 COMMISSIONER PETERMAN: So this is the
19 bringing it together upgrades that we should expect?
20 These upgrades would bring it up a level?

21 MR. THALMAN: Yeah. Well, as I mentioned in
22 the briefing three slides ago we're mostly working on
23 right now is the information systems to bring this
24 together. So a lot of our smart grid improvement and I
25 think this will be a lot of what you'll see is what

1 we'll file with the CPUC in a couple of weeks, or 10
2 days, is that IT will bring this together and then the
3 devices - there'll be some devices that will be on pilot
4 level and they'll roll out on a pilot level that will
5 come as you go through and do maintenance on the system
6 and replace those devices.

7 CHAIRMAN WEISENMILLER: I guess a similar
8 question was to ask you to describe you how PG&E has
9 taken the lessons learned from the San Bruno experience,
10 like the expert panel, in terms of its thinking with the
11 smart grid.

12 MR. THALMAN: There are a lot of things
13 pointed out in that report. Are there any in particular
14 that you'd like me to address?

15 CHAIRMAN WEISENMILLER: Well, I think
16 certainly in terms of the questions on process or
17 management of a focus but the safety focus. But I guess
18 one of the questions is how can this help us be
19 comfortable on safety issues. I'm sure this may be the
20 first time but probably not the last time people have
21 asked you how the lessons learned from that are
22 affecting your smart grid operation in general.

23 MR. THALMAN: Safety continues to be an
24 important priority at PG&E and that's no exception on
25 the distribution system. Our policies on islanding

1 protection requirements reflect that. By building in
2 this manner, by looking to bring the data together and
3 do pilots with testing out these devices before just
4 going out and installing them. I think that's a prudent
5 way of progressing so that you can test and you can know
6 before you put these things in your neighborhood. Not
7 that there's any glaring problem with a volt VAR device
8 but you don't want to cause an outage in an area where a
9 volt VAR device isn't coordinating with something else
10 or we haven't thought through all the ways that the volt
11 VAR device would work with the control system or a group
12 of inverters for solar panels in residential theater.

13 CHAIRMAN WEISENMILLER: At this point is there
14 any consensus or evolving consensus on what are the best
15 practices for dealing with interconnection at the
16 distribution system?

17 MR. THALMAN: I think that that's an
18 interesting—I don't know that there is a consensus. I
19 think that at PG&E we feel that there is some guiding
20 principles that need to be followed and that is that
21 while we do want to not hold up progress and move in
22 this direction, you don't want to get—to do
23 interconnection studies where you've applied a broad
24 brush in a general formula and you didn't look at the
25 important details to an interconnection and then find

1 that you have a problem in that area and you've having
2 to go back to the developers and the expense of working
3 with developers and trying to resolve things is that the
4 customer might suffer; especially if you get to the
5 point where you get something installed and it's causing
6 problems. So we think that--there's not really a
7 consensus. I think that that's one of the important
8 things that in this workshop and advisably other
9 workshops need to address. The question is what is the
10 best way to look at the interconnection process.

11 CHAIRMAN WEISENMILLER: And I know you're
12 still working on smart grid filing but I'm trying to get
13 a sense of the magnitude between the replacement cost
14 and the smart grid cost in terms of--is it an extra 50
15 percent or 100 percent?

16 MR. THALMAN: I don't have that right now. We
17 can try to provide that.

18 CHAIRMAN WEISENMILLER: Okay. That'll be
19 good. And I guess the last question for you. PG&E, I'm
20 gonna say, is probably at 204 in its general rate case.
21 After one of the recent storm induced outages and the
22 Commission ordered a filing to look at reliability of
23 service and throughout the various parts of your service
24 area territory. And as we look at sort of DG rollout, I
25 was trying to figure out how far people have thought

1 about either reliability of benefits to resource
2 adequacy benefits to be targets of certain areas.
3 Again, I know we remember the statistics generally well,
4 but obviously as you're going up into the Santa Cruz
5 Mountains I think in every storm you lose lots of power
6 in those areas. And certainly up in the north coast
7 area too, I mean there are areas where the winter storms
8 come in and the distribution—which will result in
9 transmission distribution losses and outages and trying
10 to figure out how DG might be part of helping solve some
11 of those issues.

12 MR. THALMAN: Well, currently, the safe and
13 prudent way to progress with DG is when you're dealing
14 with, and I think what we're getting at is the ability
15 to island an area, that's a far more complex problem
16 than the level of DG we're putting into an area plus
17 there's significant safety concerns. You can imagine
18 the Santa Cruz Mountains you're sending employees up to
19 work on lines but yet they need to know who has
20 sufficient DG in the area and what little island might
21 still be working. I think that safety being paramount
22 that that needs to be looked at clearly before we can go
23 ahead and allow that scenario. Granted, there's some
24 upside to being able to get people's power on if you can
25 island an area but we feel that the safety concerns

1 outweighs that need. Granted, keeping the power on is
2 also a safety concern but having crews out working and
3 not knowing which lines are live and which ones are not
4 I think would be important. But the other comment with
5 smart grids is that the information that is gathered,
6 the switches and other automated devices that would
7 allow power to be established quicker, you don't have to
8 roll trucks and crews and—we believe that that actually
9 has a bigger upside to restoration after a storm or a
10 large event in an area. You're not relying on people
11 calling in, you've got the instant map from the smart
12 meter data of who's on or who's not and you know exactly
13 where the problems are. In addition to that, the
14 operators looking at that, you also have automated
15 schemes and those are some of those that we're piloting
16 for the smart grid that would automatically detect and
17 energize appropriate sections and then isolate other
18 sections so that crews can go out and work on those.

19 COMMISSIONER PETERMAN: Jon, one last
20 question. One slide 10, Interconnecting DG to the
21 Distribution System, under suggestions for process
22 improvements. Could you expand more on coordinating
23 procurement programs in particular what aspect of
24 coordination would be most important, is it timing or?

25 MR. THALMAN: I'd be guessing to be honest

1 with you.

2 COMMISSIONER PETERMAN: Pardon?

3 MR. THALMAN: I'd be guessing on the
4 coordination issues there. I was asked to raise that as
5 a bullet point. And we can elaborate on that further if
6 you'd like.

7 COMMISSIONER PETERMAN: As an overarching
8 point then?

9 MR. THALMAN: Yeah.

10 COMMISSIONER PETERMAN: I'll keep it in mind.

11 CHAIRMAN WEISENMILLER: Thank you.

12 MR. THALMAN: Thank you.

13 MS. KELLY: The next member of the panel is
14 Robert Sherick from Southern California Edison and at
15 the table he's also joined by Gary Holdsworth, I don't
16 know where Gary's title is but I have seen him at all
17 the interconnection processes that the ISO and for
18 Southern California Edison so he's definitely an expert
19 on interconnection so I encourage you to ask him any
20 questions in that particular area but Mr. Sherick will
21 talk—he's from the Advanced Technology and Distribution
22 Transmission Business Unit and he's going to talk about
23 planning for Southern California Edison and smart grid
24 solutions for the future.

25 MR. SHERICK: Thank you. Good morning. Thank

1 you for allowing Southern California Edison to address
2 these questions on distributed generation and to lend to
3 its points I will be talking about planning for the
4 future and our deployment plan and yes please direct the
5 interconnection questions to Gary who is our expert on
6 that and I'm sure that he would very much enjoy the
7 discussion in-depth on that subject. So I'll be briefly
8 addressing the questions from the first and third
9 sections and Gary will be addressing the questions from
10 the second section.

11 So there's a question on the overall vision on
12 the distribution for Southern California Edison and this
13 is our overall transmission distribution vision. We
14 think it includes both the transmission areas and the
15 distribution areas very well. We've talked a lot about
16 safety and continue to talk about safety. Just a couple
17 of days ago we had an instance with one of our personnel
18 in one of our substations. It is an ongoing concern and
19 PG&E talked about the islanding issue. We're very
20 concerned about that and believe that as long as we have
21 some sufficient rules and understanding we can make that
22 an issue where it will be done safely. Comply with the
23 rules. This is both compliance and sort of safety and
24 reliability as well as the environmental policies in the
25 state of California. Keep the lights on. We've talked

1 a lot about the aging infrastructure. Really if you
2 look at Southern California and the growth of Southern
3 California in the post-war years, a lot of our
4 infrastructure was built in the 50s and 60s and a lot of
5 that infrastructure needs to be replaced.

6 As we build a smart grid, we definitely need
7 to have the infrastructure behind it that's going to be
8 able to accommodate new control systems and new voltage
9 VAR operating systems as well.

10 Satisfy our customers. A lot of this has to
11 do with, obviously, interacting and engaging our
12 customers. A lot of this has to do with being an
13 effective and efficient utility for interconnections to
14 come on to the system, being able to apply the devices
15 to the system.

16 Spend wisely. That is pretty obviously a wise
17 goal of ours going forward.

18 And build for the future. Really looking to
19 enable the utility to be around for another 125 years so
20 we are looking to safely and efficiently integrate
21 centralized and distributed renewable generation into
22 our system. When it comes to vision, when you've been
23 in business for 125 years, we are now hitting our 125th
24 anniversary; safe, reliable, clean and cost effective
25 energy in Southern California is what we're trying to

1 do. That clean component is certainly new. It's
2 probably only been there the last 30 years of our
3 history. And then there was a question concerning how
4 do we integrate all of this and, really, through the
5 general rate case one of the nice things is that every
6 three years, we have to get up in a public forum and
7 explain what we're doing, explain what the costs are,
8 explain why they're doing the expenditures that they're
9 suggesting and we have a very good opportunity to
10 integrate both our existing infrastructure with those
11 activities that we're looking for in the future.

12 Concerning the ARRA investment opportunities,
13 we have two very large programs that we're the lead on.
14 One is the Irvine Smart Grid Demonstration Program, I'll
15 talk a little bit more in detail about this program
16 since it does have a good deal to do with distributed
17 generation storage. This is divided up into several
18 subprojects; the subprojects that I've got listed are
19 more applicable to today's conversation.

20 Zero net energy home, a goal of the state's by
21 2020 for all new residential homes. We are looking at
22 how that might be done, what are some of the impacts of
23 that, how that would be managed. We have some—two
24 feeders in our distribution circuit and applying some
25 technology to a set of homes that will include both

1 solar panels and storage in the homes and be able to
2 take a look at how the customers may operate that DG
3 storage and how we might operate that DG storage and be
4 able to make some comparisons. This includes the
5 communications that you go and give the customers and to
6 see how you can incentivize them, to use them in an
7 optimal way. Also, plug in electric vehicles, both at
8 the home and work, so we're going to be setting up some
9 electric vehicle charging stations in the home as well
10 as at a parking lot in nearby parking Irvine Campus and
11 be able to see how that would be able to work and
12 interact with some distributed generation on the rooftop
13 at that particular parking lot.

14 Community storage device. Looking at how that
15 might work and how that might be optimized. We're also
16 piloting our Distribution Management System. We're in
17 the midst of going through requirements set in a
18 distribution management system and we really do feel
19 that there is some infrastructure that's absolutely
20 required for being able to have a robust distribution
21 system with different distributed generation, being able
22 to plug into the distributed generation system, and
23 being able to manage that so you can control it and
24 monitor it down to our distribution management system.

25 We've got another project looking at demand

1 response and how we might be able to measure that in an
2 instantaneous basis and confirm demand response to that
3 they know we're sending out or actually producing the
4 demand response that we expect.

5 And then the Advanced Grid Demonstration
6 Program is looking at private security from an end-to-
7 end perspective. We also have a very large (inaudible)
8 storage program and an eight megawatt battery, a 32
9 megawatt hour battery, that is being installed up in the
10 Capuche area where we've got a lot of wind generation
11 and there's about 13 different components of that
12 project that we're looking to demonstrate and evaluate.

13 And then finally, we've got a super conducting
14 transformer that we're installing as part of the Irvine
15 Smart Grid Demonstration Program. We're not the lead;
16 we're, essentially, the site host on that one.

17 So briefly this is the overview of the Smart
18 Grid Demonstration Program and a couple of things we're
19 doing here besides looking at distributed generation,
20 we're also taking a look at doing our protection and how
21 the distribution circuit works. Right now we've got a
22 radial system and we're looking to combine two theater
23 circuits into a looped circuit so that we can feed back
24 into both circuits from the other. That requires a
25 couple of different technologies that we're using such

1 as some interrupters and be able to isolate the outages
2 that might occur on the system in a much more efficient
3 way than what we are currently doing. So this is an
4 overview of the super conducting transformer, the
5 distributed storage, the individual homes and the
6 different case studies we're doing on those individual
7 homes and the protection that we're looking to redesign
8 in this particular demonstration program.

9 This is about an \$80 million program, again,
10 using ARRA funds in association with the Department of
11 Energy.

12 There was a series of questions concerning
13 what are you doing on the distribution system in the
14 near term, the medium term and the long term. So let me
15 address those briefly. Obviously, for the details the
16 general rate case will give you a good sense of what
17 we're doing in the next three years from 2012 - 2014.

18 The near term. We are going to be completing
19 our smart grid deployment. That will be done toward the
20 end of 2012. Continuing ongoing infrastructure
21 replacement. This is work that we have been doing and
22 continue to do, would like to get authorized to do more
23 of this in working with the Public Utility Commission on
24 that issue. We're continuing our circuit and capacitor
25 automation. These are programs that we've put in place

1 probably the last 10-15 years. We do our voltage
2 control on the distribution system using capacitors in
3 the field as opposed to in the substation so it's closer
4 to load to the advantage of that, a little bit of
5 complexity on the automation side but it's worked fairly
6 well for us in the last 15 years. Also, as I mentioned,
7 piloting our distribution management program as part of
8 the Irvine project. We're piloting, hoping to pilot, a
9 self-healing circuit automation and this is really
10 taking a look at the Irvine relay protection scheme into
11 a variety of different locations in the California area
12 to make sure that that not only works in Irvine but
13 works in different types of environments throughout our
14 distribution system.

15 We are also working on updating our wireless
16 communication system. This is in anticipation of more
17 and more need for information to be passed on that
18 wireless communication system. We passed that system 15
19 years ago associated with the capacitor automation,
20 circuit automation.

21 And then I skipped the one, the smart
22 distribution plans. We're really taking a look at doing
23 some more predictive analysis of our distribution
24 transformers to try to reduce those failures that may
25 happen on those transformers and get those transformers

1 connected ahead of time.

2 On the medium term we're looking to implement
3 the distribution management system. We are looking very
4 much to leverage the ARRA program, particularly the
5 things that we're showing in the Irvine Smart Grid
6 Demonstration Program. We do believe that most of those
7 concepts will be directly able to deploy so we're
8 looking to take a look at those components of the Irvine
9 project and implement them in our system after the
10 evaluation process.

11 And then also there's about \$4 billion
12 invested through the ARRA program. We expect to get a
13 lot of learning from other utilities on what they've
14 done and the Department of Energy is very sincere about
15 making sure that information gets communicated
16 throughout the country and make sure that we take
17 advantage of that effort on their side. Evaluate the
18 pilot programs that we discussed above for possible
19 deployment.

20 And then on the long term our perspective is
21 there is so much going on in the sort of one to five
22 year timeframe. There's not too much reason to get too
23 ahead of ourselves, we think that there's a lot of
24 learning to be done. We think we've made a tremendous
25 investment nationwide through the ARRA program and want

1 to make sure that we get our full learnings from that
2 before we start planning out some things. Now we do
3 have quite a few ideas on what might be in the five plus
4 year timeframe but, quite frankly, there's really no
5 reason to do really a detailed analysis of it. We do
6 have 10 year forecasts. We do have that information in
7 our deployment plan but, to Jon's point, it is subject
8 to change and I think that's the key takeaway.

9 On the deployment plan itself, we will be
10 filing that by the end of this month. We just want to
11 briefly give a view of how we're looking at this. And
12 this is a draft of the functions and the way we looked
13 at it. It's pretty close to what we'll be filing next
14 week.

15 What we did was we took a look at what is a
16 smart grid, what is the definition of it, what are the
17 different functions and of those functions what types of
18 infrastructure is being driven by those functions. So
19 we've listed over here on the left hand side the
20 different smart grid functions - distributed energy
21 resource integration, customer information, and plug in
22 electric vehicle readiness and then we mapped those
23 functions to infrastructure requirements.

24 The infrastructure that we defined is going to
25 broadly be grouped into three phases. One is sort of

1 managing control systems so these are the centralized
2 applications and hardware associated with doing
3 something like a distribution management system or an
4 energy management system on the transmission side. So
5 these are computer systems that we believe we're going
6 to need to support these functions.

7 Then there's this middle layer of
8 communication networks. We know that there's going to
9 be a tremendous amount of information flowing over our
10 communication networks and these are all the different
11 types of communications systems that we're taking a look
12 to either build or upgrade.

13 And then, finally, the field devices. These
14 are essentially the devices that are being plugged in to
15 our management control systems through our communication
16 networks.

17 And we've kind of gone through the deployment
18 plan for each of these functions to identify each of the
19 individual systems that need to get built or upgraded
20 and that are essentially how we've looked at the smart
21 grid. It's a highly integrated system so it's very
22 difficult to talk about a single component without
23 talking about the be it all plan; that's why we're very
24 happy to have the opportunity to get that overall plan
25 defined on a piece of paper and get it submitted and get

1 an opportunity to have those discussions with the Public
2 Utility Commission and other stakeholders.

3 One of the sort of key drivers to the smart
4 grid, and what we've looked at, is it really is a very
5 complex system. A system that we've done a lot of work
6 on how do you manage very complex in-depth system that
7 have tremendous interdependencies at the same time not
8 trying to get a complete command and control system that
9 manages everything. We just simply don't believe that's
10 going to happen. We think that there's some discrete
11 processing that's going to happen on a distribute level
12 that's going to tie in to some type of centralized
13 system and really kind of go through the analysis of how
14 that's going to work. We really are taking our first
15 steps at that and know that we have a long way to go on
16 that.

17 So that's the comments that I had on those
18 first two sections. I don't know if you want to hold
19 the questions and let Gary talk about interconnections
20 or if you want to address questions right now.

21 CHAIRMAN WEISENMILLER: Why don't we let Gary
22 talk—one question, go ahead.

23 COMMISSIONER PETERMAN: I have one question
24 that's more appropriate for you, and maybe for other
25 panelists going forward. When thinking about safety,

1 what role is there for the DG customer in helping to
2 ensure safety? And what opportunities for behavioral
3 changes, etc.?

4 MR. SHERICK: Well, I think that it's
5 islanding effect. I mean there's certainly intentional
6 islanding that makes a lot of sense under a certain
7 scenario and it's assurance that the anti-islanding when
8 you don't want to be islanded gets shut off. I think
9 that's the major issue. And I really think that it's
10 going to be a process where both the utilities and the
11 distributed generators are going to have to work
12 together to kind of figure out what's best. It's going
13 to take some time.

14 COMMISSIONER PETERMAN: Thank you.

15 MR. HOLDSWORTH: My name is Gary Holdsworth
16 and I'm a Manager in our Grid Interconnections Group at
17 SDE and I'm very glad to have this opportunity to
18 address everyone. I hope ya'll don't mind, I don't have
19 any slides. So I'm going to talk about interconnection
20 in about five minutes so I'll then take questions.

21 The key thing—you know, this is mostly a smart
22 grid workshop today. There were some specific questions
23 addressed in the paper about interconnection and
24 integration of interconnection. So that's why I'm here
25 addressing them.

1 The primary thing I want to talk about is that
2 it's an education process because it's not every day
3 that someone wakes up and says, "Oh. I wonder how
4 generators are interconnected to the system." Right?
5 That's just not what a lot of us are doing on an
6 everyday basis. So some of the questions, I think,
7 reflect a lack of understanding on the need for
8 continued dialogue on integration of these systems.

9 Three primary tariffs control the
10 interconnection process in our service territory. The
11 first is the ISO tariff and that's for transmission
12 level interconnections. The distribution level
13 interconnections are broken into two different tariffs.
14 One of which is our tariff which is called the Wholesale
15 Distribution Access Tariffs, the WDAT. PG&E calls it
16 the Wee-DAT. Other companies call it other things. We
17 call it WDAT. The other is Rule 21 which is also for
18 distribution level interconnections but has some
19 different flavors. It has a flavor for behind the meter
20 or net energy metering and doesn't use a lot for
21 wholesale transactions but the line between WDAT and
22 Rule 21 is somewhat flexible or nebulous from time to
23 time and that is one reason why the Rule 21 Working
24 Group was recently re-established. We're trying to work
25 out some of those lines of demarcation a little bit

1 better. It's confusing for everyone, including the
2 developers, and we're trying to grow that.

3 The key point on the integration of the
4 interconnection process. I want to make certain that
5 everyone understands. In recent years, I've been
6 working on interconnection reform efforts with the ISO
7 for about four years now. We have gone from a very one
8 at a time serial type process to looking at the
9 interconnection on a collective basis in what is called
10 Clusters. And that is done, not only for
11 interconnections at the transmission levels but the same
12 procedures with the same timelines occur for those WDAT
13 distribution level interconnection requests. The
14 studies are actually performed by us and the ISO in
15 total. So they're looked at aggregate or collective
16 impacts. That is appropriate, as I think was previously
17 mentioned today, the level of demand or interest for
18 interconnection is such that, for example, at SEU's
19 queue we have over 3,000 megawatts of collected WDAT
20 requests. Three thousand megawatts is a lot of power on
21 an aggregate basis and it sure pales versus the ISO
22 transition level where we have well over 30,000
23 megawatts. And that's an astronomical number but it's
24 still a very large number so distribution level
25 interconnection requests can't have impacts to the

1 transmission side and they need to be addressed.
2 They're addressed in these studies. So they are highly
3 integrated today and the recent reforms we just passed,
4 ISO and we passed, last year they're even more
5 integrated. So that regardless of size of
6 interconnection requests, if it's a wholesale
7 transaction, it's going to be looked at at an aggregate
8 basis. That, we believe, is the best way to plan the
9 transmission as well as the distribution upgrades
10 required to integrated that new generation. We will
11 echo something that PG&E said this morning, we feel that
12 it is very appropriate for the ISO to continue with its
13 transmission statewide plan and even its interregional
14 planning but we do not see any value in a statewide
15 distribution plan. The distribution system is the last
16 mile, so to speak. The last mile is much more
17 responsive to things such as load growth or new meter
18 sets and things like that. This is a necessity of very
19 reactive construct whereas the transmission system is
20 the backbone, to use the telecom term, and that's very
21 much useful to have a proactive planning approach for
22 the backbone. It is somewhat reactive but it is—it
23 really has a proactive need to it. So the distribution
24 system by its nature, and was mentioned, things that
25 happen in Fresno don't really impact things in Stockton

1 or downtown LA doesn't impact what's going on in
2 Colorado River. That's true. So we see very little
3 need for a distribution level plan. So those are my
4 kind of introductory comments and I'd be willing to take
5 questions down the panel or here, either way.

6 CHAIRMAN WEISENMILLER: Yeah. Let me start
7 with a couple of questions for you and then go back to
8 the other gentleman. First one is, of the 3,000
9 megawatts how many projects did that represent?

10 MR. HOLDSWORTH: That's around 300 on the WDAT
11 and yeah--so the 3,000, 3,500 actually, let's round it up
12 to 3,500. That's roughly around 300 projects.

13 CHAIRMAN WEISENMILLER: The next question is
14 in terms of--do you have a sense of what the best
15 practices are in terms of DG interconnection studies at
16 this stage?

17 MR. HOLDSWORTH: My opinion is that the best
18 practices are now implemented throughout California in
19 that we're using the clustering approach to divide away
20 the collective impacts on both the distribution system
21 and on the transmission system. FERC has said that that
22 is their preferred method of interconnection studies is
23 the clustering approach. It's really where we get the
24 most efficiency. If we had not gone to a clustering
25 approach back in 2008-2009 for larges and we added the

1 small generators eventually in there, we couldn't even
2 conceive of handling 800 type requests that we see
3 today. Being able to study 800 active requests which
4 are what's in our system today. It's not perfect but
5 it's very much the state of best practices in the
6 industry, this clustered approach.

7 CHAIRMAN WEISENMILLER: It's certainly one of
8 the things that the ISO has been struggling with. The
9 level of, I'll say, the financial commitments from the
10 developers in terms of weeding out the queue some. So
11 the question is is that at the appropriate level at this
12 stage?

13 MR. HOLDSWORTH: Yeah. That is a key question
14 that the ISO is addressing right now in its
15 interconnection reform efforts. And maybe I'll defer to
16 Neil Millar later who will be talking about that. The
17 question inevitably comes when you talk about a very
18 healthy, very - I hate to use the word - but robust
19 queuing process that we have. A lot of demand for
20 interconnection. That's a very good thing but that also
21 means that we need to be very efficient with what we're
22 doing. There's going to be some generation that's just
23 not built. And determining what is and what isn't is
24 challenging in a market based environment. So the
25 challenge is to take, to see, how the market can be

1 helped to develop or to make the right decisions and to—
2 I'm also talking about maintain protections for the
3 ratepayer who's eventually paying for the transmission
4 infrastructure. We need to, and I'm going to defer to
5 the ISO on a lot of this and their plans for this, there
6 is a need to rationalize or right size our new
7 infrastructure that's going to be needed to meet the
8 Governor's and other's goals. So how we get there is
9 very complicated but very thorough. We're going through
10 a very thorough process to get there.

11 CHAIRMAN WEISENMILLER: One question is, I
12 guess, one of the more poignant moments when you read
13 the expert panel report on San Bruno was that PG&E on
14 the permitting side for the gas side has 22 people.
15 Perhaps if they had had 30 that might have been dealt
16 with. So again, how do you select the right number of
17 people for your group?

18 MR. HOLDSWORTH: We are adding resources as
19 best we can to deal with the current environment that we
20 have and we do expect this environment to be very
21 healthy. Particularly if we're talking about an
22 additional 12,000 megawatts of distributed resources.
23 So to the extent that we can find adequately trained and
24 capable people we're hiring them and we're going to
25 continue to do so. It's a very complex process. It's

1 something where our--my management team and, I think,
2 PG&E as well, we're trying to use contingency workers if
3 we can. But we're all trying to hire the same people.
4 So it comes down to the folks with experience and the
5 knowledge of these procedures are somewhat of a small
6 group. We get to the point of we need to train them and
7 we're definitely training on a daily basis to get the
8 skill sets we need to be able to address these. It's a
9 somewhat of a bootstrap approach but it's how we're
10 addressing the issues.

11 CHAIRMAN WEISENMILLER: I guess in terms of,
12 the last two questions--actually one of you may want to
13 chime in. The first is that obviously we have a lot of
14 constituents talking about, for the 12,000 megawatts,
15 where it should be. Should it be in environmental
16 justice areas? I guess, putting on your system
17 distribution planning hat, where would be the best spots
18 in the Edison system in terms of reliability, resource
19 adequacy or - just from your perspective where would be
20 the best spots to put DG in your system that would have
21 the most benefits from the system operation perspective?
22 Either one of you can try that, obviously.

23 MR. SHERICK: I think at this point we have an
24 interconnection queue and a process and we address that
25 in a much more reactive basis. On a proactive basis, I

1 think, you would have to see what the market is
2 incentivized to do, to some extent. From our
3 perspective we need to look at all areas as possible
4 places for interconnection so we're not trying to tell
5 someone that they can't interconnect here but can
6 interconnect here. There are certainly a lot of areas
7 where we have a lot of growth and those would be areas
8 where we'll do a lot of our planning process to manage
9 that growth. With the economic downturn that's been a
10 little less of an issue for us but it certainly was an
11 issue three or four years ago and could very well be an
12 issue going forward. So those places where there's a
13 lot of growth would probably be the best areas for, if
14 we could, ideally choose the location for where
15 distributed generation is being placed.

16 MR. HOLDSWORTH: And to add to what Robert is
17 saying, I think he's primarily talking about load growth
18 or where the load is and unfortunately in our territory
19 our best resources is where there is no load. It's out
20 in our deserts and in our mountains. And therein lies
21 the transmissions needs, the immediate, transmission
22 needs. We have said in many different venues that
23 distributed resources have a real role with where
24 there's lots of load in our metro area. Unfortunately,
25 the land isn't there that a lot of these resources

1 require. So that's one of the reasons that we went into
2 our commercial rooftop program is we have a lot of flat
3 roofs in our area that we can use. But those are small.
4 Again, it's trying to find a balance from a number of
5 stakeholders, not just—we're going to—the market is
6 going to do what the market's going to do but at the
7 same time we have put out maps, PG&E has maps as well,
8 of locations in some of our areas where a circuit may be
9 able to handle some additional generation. We have maps
10 like that for our rooftop program as well as for our RAM
11 program and I believe PG&E has similar things. We're
12 trying to give a lay of the land. We're not telling
13 people where to go but we're giving them a lay of the
14 land.

15 CHAIRMAN WEISENMILLER: Now, do you have a
16 sense for your smart grid program the delta between
17 replacements versus modernization? And the cost?

18 MR. SHERICK: I do not have those numbers off
19 the top of my head but we can certainly get those in a
20 written response.

21 CHAIRMAN WEISENMILLER: Okay. That'd be
22 great. Thank you, thank you both.

23 MS. KELLY: Our next panel member is Tom
24 Bialek from San Diego Gas and Electric. Tom has a
25 Bachelors and Masters of Science Degree in Electrical

1 Engineering from the University of Manitoba. He has a
2 PhD in electrical engineering from Mississippi State and
3 he's currently employed at San Diego as the Chief
4 Engineer on the Smart Grid Team. His current
5 responsibilities involve smart grid strategy and policy
6 for transmission distribution issues including
7 equipment, operations, planning, distributed generation
8 and development of new technology. He is also the
9 principle investigator on DOE and the CEC's funded
10 microgrid project. Tom?

11 MR. BIALEK: Well, thank you. It's a pleasure
12 to be here Commissioners. We appreciate the opportunity
13 to talk to you about this issue. I actually tried to
14 take a stab at answering the questions on planning for
15 the future as well as interconnecting DG, maybe not
16 quite the format in which you laid out but hopefully
17 you'll be able to get there.

18 So, I think one of the things that was asked
19 is what is the vision of the future. So for SDG&E, as
20 part of our smart grid deployment pilot, we looked at
21 what is the smart grid utility vision. And what you see
22 here is really the definition from a transmission
23 perspective, from a distribution perspective and there's
24 also a customer perspective. Now when it comes to
25 customers, because I know later on there's a question

1 about the role of customers, as we think about the
2 future, looking at the distribution system, being able
3 to look at the burden of balancing storage, reliability
4 and integration services to customers and giving the
5 customers options to participate. We believe these are
6 ultimately the longer term version of where this smart
7 grid will take us. Clearly, from a transmission system
8 is improving the speed of response.

9 So why did I bring up transmission? I think
10 one of the things to think about when you talk about
11 12,000 megawatts; you're really looking at 12 1,000
12 megawatt plants. Those are large plants. They have
13 large impacts on the grid and I think our Senior VP, Jim
14 Avery who came to the last workshop talked about when
15 they looked at it from a transmission planning
16 perspective they say overvoltages, they saw high flows,
17 they also saw transducer stability problems. The
18 solutions for those types of problems were anywhere
19 between \$350-550 million and that's a transmission
20 issue. So the point here being that while this is all
21 about distribution, given that these large numbers are
22 being proposed, it will also impact the transmission
23 grid.

24 One of the things that you asked a little bit
25 about is the vision of how this moves forward. I'll

1 take a little bit of time, very briefly, to talk about
2 our deployment and how that figures into planning. So
3 we've got nine different program goals. Ultimately
4 projects by year, value pilot and then the total number,
5 ultimately, in our deployment plan is 64 projects, each
6 of them with their ARRA price projects but they are not
7 included in the costs and benefits so for a grand total
8 of 82 projects. And within the context of that, we're
9 able to—given those different nine program areas, and
10 integrated renewables being one of them, we do have
11 vision statements for both 2015 and 2020.

12 So here are these nine different program
13 areas. Certainly for this particular discussion here,
14 the area of renewable growth and customer empowerment as
15 well as reliability and safety are issues, and
16 operational efficiencies, are issues that come to mind
17 when we think about how we're going to integrate this
18 large amount of renewables.

19 There's also a question with regard to what
20 ARRA funding can SDG&E get. SDG&E has applied for two
21 and got one. Ours is really a, what we call at SDG&E, a
22 communications systems. And really, you heard Edison
23 talk about their effort to upgrade their RF—their
24 wireless RF network. This is actually a project that
25 we'll do too. A multilevel RF, controlled by a single

1 service, and what you see here, realistically, are some
2 that now are integrated, that security has integrated
3 management control, but looks to top the various assets
4 on the grid. Looks to control various assets on the
5 grid. And looks to empower our workforce by providing
6 data and information. This was a roughly \$56-58 million
7 project, \$26 of which came from DOE and \$26 from SDG&E
8 and some money from the CEC.

9 Here specifically is when you start talking
10 about the types of projects that we are actually going
11 to implement as far as integrating renewables or
12 distributed generation and integrating these into our
13 grid. So you see here in our grid, basically, in the
14 2012-2016 timeframe, Distributed Energy Resource
15 Management System. What you see with that system is
16 that that is a system that will actually look at
17 providing information that allows consumers to actively
18 participate in management of the grid.

19 You can see in our grid vision by 2020 that
20 this Distributed Energy Resource Management System is
21 fully functional and interfacing with customer loads and
22 resources supporting efficient utilization of
23 distributed energy resources. We believe from an
24 operational efficiency perspective that is certainly one
25 of the areas that we are putting in place.

1 And the idea of dynamic line ratings, other, I
2 always imagine, detection systems or elements of these
3 overall strategy for integrating high penetrations of
4 distributed energy resources. Specifically around
5 renewable energy growth, we do have a number of
6 projects. And these projects were also included in our
7 general rate case application. We look at mass energy
8 storage from a distribution perspective to integrate
9 that with the renewables that are increasing on our
10 system, circuits that have high levels of renewable
11 penetration, putting our capacitors on SCADA, allowing
12 us to better do volt VAR optimization on the grid in
13 response to what's going on with the PV or other
14 renewables or DG, expanding our SCADA. We are
15 approximately 70 percent of our load is behind a SCADA
16 switch today. Roughly 80 percent of our circuits have
17 SCADA. We see that SCADA is a necessary need to be able
18 to control and move loads around and balance the voltage
19 and power flows on the circuits. We also talk about
20 dynamic lines rates. So if we think about actual
21 circuits, but I think this gets to one of your points,
22 why would we—the question of replace, refresh versus a
23 new smart grid technology. To the extent that we can
24 leverage dynamic line ratings on a distribution systems
25 and transmission system potentially allows us to the

1 defer capital expansion, and hopefully from an
2 integration and renewables perspective actually makes
3 that easier as well. And then lastly, phasing out
4 measurement units on the distribution system; really
5 looking at that more to provide time stamp data and
6 coupling that with the other elements here. You can now
7 look at the potential for closed loop command and
8 control of storage and other systems to actually
9 mitigate the impact of PV. And you can see the vision
10 statements are over here on the right. We'll also talk
11 about the whole idea of advanced control as well.

12 One of the things that we talk about
13 integrating the renewables; we'll talk about it a little
14 bit later. Low power watt area indication network, a
15 good comms system, these are all sort of systems that go
16 across boundaries that will us to utilize and allow us
17 to make data available. I think one of the keys, as we
18 think about the higher penetrations of renewables and
19 PV, is the fact that we need more data to be able to
20 manage this system. The system is going to become
21 increasingly complex. We're going to need that data and
22 information to be able to manage the grid. And we see
23 some elements around data management and analytics.

24 So this is just sort of a summary, it gives
25 you a little bit more detail around, what I think Chris

1 pointed out, I think one of the questions was societal
2 and environmental benefits with regards to our smart
3 grid deployment plan. We didn't do that estimate. We
4 did work with the Environmental Defense Plan. And we
5 can, ultimately, you can see the numbers represented
6 here.

7 I think one of the things you should take away
8 from this particular slide with the cost of benefits is
9 that you see on the top categories previously authorized
10 investments. So these are the costs that are built in
11 from 2006-2020 timeframe of existing projects that were
12 already authorized. And you see also our 2012 test
13 years and rate case process going up to 2020 or 2010.
14 And you also see other programs that are in existence
15 and then you also see incremental projects. These are
16 projects that are incremental to what we are asking for
17 in our GRC and that have been approved by the Commission
18 officially.

19 So here's sort of a breakout of how we looked
20 at the societal benefits. And we looked at it for
21 really both large-scale 32 percent RPS as well as
22 centralized renewable energy as well as reduction by
23 integrating distributed energy as well. And then we
24 also did some work around electric vehicles.

25 So at SDG&E there really are a couple of ways

1 to look at what are our concerns. We have operational
2 concerns, engineering and planning concerns, we have
3 regulatory concerns. The operational concerns are
4 really driven by the invariability of the PV power
5 output and other various points here. To the point of
6 interconnecting generation, the whole idea of the impact
7 on capacity planning, the impact on volt VAR management,
8 the impact on conservation of voltage reduction
9 regulations within the state. An additional key element
10 is electrical models. When you think about trying to
11 integrate these types of systems, how do you actually
12 model these? We've got today an existing local program
13 but it's good for static types of calculations. We're
14 seeing increasingly a need for transient announcement
15 tools and associated transient announcement
16 capabilities. And on the regulatory front, something
17 that's been addressed already, are things around Rule
18 21. Changes to Rule 21 to allow us to better integrate
19 renewables. Rule 2 around service power quality and
20 then ultimately cost causation principles.

21 To the extent that you can see here our
22 generate rate case specifically around renewables for
23 our test year 2012 we have for these different projects,
24 \$54 million in the rate case. And, as you can see, the
25 allocation of cost across the projects. And there's

1 also some future smart grid deployment projects.

2 So one of the things that we think is
3 important is that you're able to map where these
4 installations occur. So this is the mapping of all
5 these PV systems on SDG&E service territory. We map
6 them into our GIS and we're also comparing electric
7 vehicles as well.

8 And I think to the point that--SDE's point is
9 that where do you want to site the 3 ½ megawatt type PV
10 systems. It's really in SDG&E's backcountry where very
11 small wires, very small transformers. Where people talk
12 about distances between substations in the magnitude of
13 four or five miles and we have some small Level 4
14 conductor for example and if you look at what that
15 means, the fluctuations would be unacceptable on those
16 particular circuits and therefore requires a significant
17 capacity upgrade by reconductering at a significant
18 cost.

19 Here's why we believe that we need smart grid
20 to address some of these issues. I think some of you
21 have probably seen this type of graph before. PV output
22 of a particularly favorable day of one particular
23 circuit. The bottom is one second data. The bottom
24 actually is the expanded version of that above version
25 and it shows ten minutes. I think one of the challenges

1 here when we think about integrating renewables is when
2 we see these dips here, we're seeing basically a couple
3 of things. We're exceeding our constant voltage limits.
4 So when we talk about integrating distributed generation
5 we're nominally trying to keep between 126 - 114 volts
6 to meter, for CVR program it would be 120 - 114 volts
7 per meter. So just multiply by a thousand in this
8 particular case. And you can see that we are well above
9 our normal operating limits however what you'll also see
10 is that this is actually within the allowable operation
11 range under Rule 21. The other challenge with this of
12 course is that this will now cause our regulation
13 equipment which we have installed; it will actually
14 operate the time zones that are shown here.

15 And you can see why we believe that we need to
16 take--why we need to be proactive as far as modification
17 to the system to allow PV to actually be incorporated
18 and you can see here circuits here with 30 percent PV
19 and those with greater than 30 percent of PV. These are
20 sort of the worst conditions with light load on the
21 circuit and high PV output so that's sort of the worst
22 case. And this is actually a worst case that today
23 under Rule 21 that is not looked at, they're actually
24 looking at 15 percent of the people behind line load
25 section rating so it'll probably change when it does

1 happen and get into Rule 21.

2 So we believe ultimately that there are never
3 changes that are needed. From a regulatory perspective,
4 the question with regards to Rule 21, you heard about
5 Rule 21 WDAT modifications to allow the appropriate
6 ability to model the system as well as the ability to
7 actually change the requirements for performance. Also
8 looking at periods of low load, high PV output, things
9 around low voltage ride through and frequency droop to
10 make these converter actually perform in a more grid
11 friendly fashion as opposed to what they do today which
12 is operated unity power factor, operated predefined
13 limits and drop-offs when those limits are exceeded,
14 rule through modifications around harmonics and voltage,
15 things around cost causation with a real regard to costs
16 and incentives so that particular system that you saw
17 here actually relies upon the grid to take care of its
18 smoothing. That's a function that today is born by the
19 utilities and the ratepayers. So we that actually gets
20 into the next session.

21 I think we expect that there's going to be
22 some significant impact on not just the distribution
23 system but the transmission system. There needs to be
24 technical studies and we are doing some of those studies
25 today to look at what we can do whether it be from a

1 policy perspective to add additional functionality into
2 the converters or actually what can the utility do to
3 put systems in place similar to alert to what we do
4 today with the capacitor banks on the grid. One of the
5 things, that I think, is really lacking in general is
6 actual field measurements. That data that I showed you
7 is one of the few actual sets of data I've actually
8 seen. There's a few others, there's not a lot. But
9 that data is necessary ultimately to be able to model
10 the system. And I think when we talk about adding
11 additional amounts of distributed generation of PV we do
12 need to understand what's actually going on and be able
13 to model the grid. And we do need data to allow us to
14 look at before and after. Changes in regulatory
15 technical status, we talked a little bit about those.
16 And lastly, adopt lessons learned from European
17 countries. Germany has, for example, 18 gigawatts of PV
18 installed. And they've added new grid codes. SDG&E
19 believes that those types of requirements for moving
20 forward in the future are necessary. We believe that
21 the time to start is now opposed to waiting.

22 CHAIRMAN WEISENMILLER: Thank you. A couple
23 of questions. First one was when we did talk about the
24 European experience, one of the messages seemed to be
25 the visibility for the Cal ISO on the production, at

1 least that wasn't one of your Rule 21 items.

2 MR. BIALEK: We've had this discussion before
3 with the California ISO and we have gone up and met with
4 them to discuss what level of visibility do they need.
5 How granular should they be presented for them.
6 Clearly, if you look at telemetering data and
7 information to the ISO at a very granular level it would
8 probably be very cost prohibitive. So the question
9 becomes at what level do you aggregate that information
10 and up and present it to them? And what sort of
11 forecast do you provide to them? Forecasting is a
12 significant issue as well. So based upon the
13 conversations I've had with the ISO, I think that's a
14 going forward discussion as to what level of visibility
15 do they really need to actually operate.

16 CHAIRMAN WEISENMILLER: And in terms of best
17 practices. It sounds like what you're pointing us
18 toward is Germany on this set of issues. Again, I've
19 been pushing people trying to understand a consensus on
20 best practices in this area.

21 MR. BIALEK: Well, I think certainly given the
22 amount of penetration that they have in their particular
23 grid, I think, that we should take advantage of the
24 lessons that they have learned and the realizations that
25 they have come to. And one of the realizations that

1 they have come to, and this is based upon conversations
2 that I've had with some of my German colleagues, is that
3 with these units today operating basically a unity power
4 factor with limited control, although they do have
5 control at 100 kilowatts and above, if there's a major
6 transmission event it will cause all of the systems to
7 drop offline typically. And so you'd lose 18,000
8 megawatts of generation and they do not have adequate
9 reserves to recover from that. And they are worried.
10 So part of the challenge, and that's why they've added
11 these additional grid codes, is to allow some
12 flexibility so that the system going forward is more
13 flexible and can recover more from those type of events.

14 CHAIRMAN WEISENMILLER: Okay. The last
15 question is if you have a sense of the delta in cost
16 between the replacement of stuff and / or the
17 modernization on the smart grid package.

18 MR. BIALEK: So, I would say that the—we saw
19 the smart grid evolution, not necessarily revolution, we
20 had a lot of internal discussions on what is smart grid.
21 What projects are smart grids or not. If you add some
22 additional functionality to the distribution circuit
23 upgrades would that make it smart grid? Would that make
24 the whole project smart grid? And the answer is, we
25 debated that back and forth, and there was no real clear

1 consensus. Although we did try to err on the
2 conservative side and not call everything smart grid
3 because we believe if we did that that would be
4 problematic in and of itself. So we have—our capacity
5 plan—our ongoing capital expenditure budget at a
6 distribution level is on the magnitude of \$10 million a
7 year. You see projects here on the magnitude of \$50
8 million a year. So roughly, you know,---but what we do
9 see is that, and what we have said, is that as we move
10 forward in time and as we rollout future distribution
11 system and capacity system upgrades we are going to
12 leverage the advances that smart grid brings to us.
13 What you will see is a further blurring of what is
14 really smart grid because what you're going to see is
15 new products and new standards which will incorporate
16 what today we're calling smart grid technologies but
17 what will become standard designs.

18 CHAIRMAN WEISENMILLER: Okay. Thank you.

19 MS. KELLY: One last speaker. Not last but
20 Neil Millar who's the Executive Director of
21 Infrastructure Development at the ISO. And he's just
22 going to provide comments on mainly integration of
23 12,000 megawatts at the transmission level.

24 MR. MILLAR: Thank you and thank you for the
25 opportunity to present today. I also didn't bring

1 slides. But I'll also keep my comments relatively
2 brief. As many of you are aware, the Cal ISO does have
3 essentially a companywide initiative this year looking
4 at taking the necessary steps to be proactive and to be
5 ready for the integration of large amounts of
6 distributed generation. Those areas of interest really
7 factor into the nearer term the operational side.

8 Do we have short term forecasting and adequate
9 visibility of the amount of distributed generation so
10 that we can take that into account in managing
11 variability of the system?

12 In the midterm, do we have the right market
13 products available to provide the kind of reserve
14 requirements, ramping and load following capabilities
15 that we need to handle intermittences or variable
16 generation; whether it's on the distribution or on the
17 transmission side?

18 And then on the longer term, on the
19 transmission planning side, there we're looking at what
20 fleet replacement do we need. How do additional systems
21 need to be put in place? What additional operating
22 systems do we need to take into account so that the
23 system itself is properly positioned?

24 When we look at the transmission planning
25 aspect in particular and we look at coordinating

1 distribution planning, the technical issues I think are
2 generally well coordinated. There are relatively
3 distinct lines between where the transmission system
4 ends and where the distribution systems begin and how to
5 manage the technical issues crossing those barriers.
6 The bigger challenge in coordinating the planning aspect
7 right now, I would be encouraging more focus on what is
8 driving particular types of distributed generation and
9 what is driving the location because as the quantities
10 and the locations are, and the type of generation, are
11 pretty fundamental to both of the systems and the issues
12 that we have to take into account. Unlike the
13 distribution system, we heard this morning that some of
14 the tools on transient and dynamic stability analysis
15 and so on are likely need to be applied to parts of the
16 distribution system that they weren't previously. On
17 the transmission system those tools have been required
18 for many years but we will need different models and
19 different modeling capabilities and to be able to take
20 into account the uncertainty around the location of the
21 resource as well. So those are the major issues that we
22 see. These again are the how much, where and the type
23 so that we can proactively take those into account in
24 our annual transmission planning processes and have the
25 system properly prepared for that new generation coming

1 online. The only other factor that I should mention,
2 and again it relates to the location, is that
3 distributed generation does have the capability of
4 shifting load patterns on the transmission system in a
5 number of areas and that could also drive new
6 requirements that we need to take into account moving
7 forward. So again, I just want to stress that we do see
8 the need to coordinate with the distribution planning
9 function and it's primarily in the case of looking at
10 these kinds of resources, the location, the models that
11 we need to take those into account. Not so much the
12 technical issues that cross back and forth. Those are
13 better understood, I believe, and aren't the unexpected
14 issue that we see coming. It's more of the quantity
15 that we need to address. I'll leave that for the
16 comments and am now open to take questions.

17 CHAIRMAN WEISENMILLER: Yeah. That would be
18 good. I have a couple of questions. So the first is
19 how do we get resource adequacy values for DG, how do we
20 get DG value and resource adequacy in context?

21 MR. MILLAR: We have a few different ways of
22 looking of trying to expedite interconnections right now
23 for distributed generation that would be of a magnitude
24 that would be studied for these purposes. And those
25 methods generally leave the resource adequacy

1 deliverability issue until the next cycle and we can
2 study, in aggregate, the resources that want
3 deliverability. So we don't have a clean way, right
4 now, to integrate deliverability requirements into a
5 fast track process for a smaller distributed generation
6 aspect. The main reason is because the location does
7 matter. In areas that are clearly low pockets were
8 generation is coming in strictly from outside, the
9 answer should be more obvious. Many load pockets are
10 however along the way between generation resources and
11 other load pockets. Even though a distributed resource
12 may be netting a load at that point, it still should see
13 a load pattern that may cause patterns for some other
14 resource for what was previously conceived to be
15 deliverable. Right now we have a bit of an awkward fit
16 that we're looking at. We are taking steps to further
17 integrate the transmission planning process in aggregate
18 with a generating interconnection process to try to find
19 a solution. We think that there are some possibilities
20 there to try to find pockets where we can give the green
21 light to but that's still speculative at this stage.

22 CHAIRMAN WEISENMILLER: I guess the last
23 question is, again, circumventing things but where are
24 the general locations that would be the best and where
25 are the worst locations?

1 MR. MILLAR: The best locations would always
2 be near the load centers from a transmission
3 perspective. The worst locations would be back where we
4 already have generation. The comments that we heard
5 today though are that a number of the resources in the
6 two, three, five megawatt range looked more attractive
7 from a resource perspective but were where we already
8 have large blocks of generation.

9 CHAIRMAN WEISENMILLER: Thank you.

10 MR. MILLAR: Thanks.

11 MS. KELLY: Chairman, what I'd like to do is
12 wrap up this panel. We're getting late. I'd like to
13 open it up for questions here from the audience and then
14 attendees of the WebEx. Is that all right with you?

15 CHAIRMAN WEISENMILLER: Yeah. That'd be good.

16 MS. KELLY: Does anyone in the audience have
17 any questions? Dave, come on up to the podium.

18 DAVE BROWN: Actually, just a question for
19 PG&E. The volt VAR optimizer or the volt VAR technology
20 that they were talking about demonstrating, could you
21 describe that a little more about what the technology
22 is?

23 MR. THALMAN: The volt VAR compensator is
24 basically a powered electronics device out on the feeder
25 with the reactors and the passers behind it and you can

1 adjust voltage. It allows you to do it dynamically
2 instead of with discrete switching. The pilot that
3 we're looking at is testing how effective that would be
4 and its effective compared to other options.

5 MS. KELLY: Any other questions in the
6 audience? Yeah? And please give your name and who you
7 represent or where you're from?

8 MR. BATESON: Gerald Bateson and I'm just
9 representing myself today but from a standpoint of
10 tradeoffs and modeling, San Diego Gas & Electric has
11 microgrids and part of the project is coupling those.
12 And I was kind of curious of if in your modeling if
13 you're doing some trades to some of the more expensive
14 microgrid integration versus some distribution
15 generation being further out and how that is being
16 considered.

17 MR. BIALEK: Well, if I understand the
18 question correctly. When we look at modeling typically
19 around the normal, steady state of analysis--of Level 1
20 analysis, we do have conventional program. When we look
21 at the impact in renewables, usually PV in this case,
22 we're looking at transient models to try to better
23 understand what's going on. When we think about
24 microgrids now and incorporating microgrids because we
25 have pilots going forward in Loreto. Our ODMTS system

1 which is actually going to be functional at the end of
2 this year has an unbalanced three-face multiple part
3 program and will have some additional analysis. The
4 challenge will be to look at when you decide to
5 disconnect how often and how frequently you would end up
6 having to run that unbalanced program because looking at
7 that really that particular instance to manage the
8 voltage, the frequency and the power factor within the
9 appropriate ranges. So hopefully that answers your
10 question.

11 MS. KELLY: Any other questions? All right.
12 We have one question from the web. It's for PG&E I'm
13 told. And it's going to appear up on the screen. It's
14 from Barbara George.

15 MS. KOROSEC: I'll go ahead and read the
16 question. It says, "PG&E's testimony in the 2011 GRC
17 revealed that it ignored solar PV and energy efficiency
18 in its load forecast because it doesn't know where it
19 is. PG&E load forecasting methodology does not
20 particularly adjust for changes in peak loads because of
21 increase customer photovoltaic installation, customer
22 energy efficiency programs or increased load due to PV
23 increased penetration. The effect system wide programs
24 have on peak loads are not easily quantifiable on a DG
25 level, division or geographic area. Therefore PG&E

1 cannot know exactly where reductions or increases will
2 occur. This is from PG&E testimony, Volume 3, page 9-
3 12. Is this still true? PG&E knows exactly where every
4 good connected PV system is installed because PG&E hooks
5 them up. PG&E also knows where energy efficiency
6 measures are installed however PG&E has not tracked this
7 important data. When will PG&E and other utilities
8 begin to report this data?"

9 MR. THALMAN: Okay. I will play out what
10 seems to be that the person asking the question already
11 knows their answer. PG&E is endeavoring, obviously,
12 with our, what I mentioned earlier, with our ability to
13 record more data and to track these items. There's a
14 lot of historical data, rather, history behind PV
15 installations to know where they all are. I do like
16 SDG&E's map that showed that they know where all the PV
17 resources are. I think that's our target. So I guess
18 my answer is that we're working better to record and
19 know all of the data that the question is asking so that
20 we can know how it influences our load forecasting. I
21 will add that the load forecast, that there are two
22 levels here. There's knowing the data and there's also
23 knowing which point it's going to significantly impact
24 your load forecast. If we rely on historical data, the
25 impact and penetrations of electric vehicles and PV have

1 not been significant enough to—you can look at your
2 error bands on your load forecast and your forecast for
3 those items are still within your error bands, and so if
4 I remember correctly the point in the testimony is not
5 so much that we don't know those, it's that it's the
6 current levels are near error bands and so it's not a
7 significant impact. Now, certainly, that's not going to
8 be the case going forward and that's why we're tracking
9 the data.

10 CHAIRMAN WEISENMILLER: Certainly if any of
11 the panelists want to comment further in respond to the
12 question, you can certainly do that in writing.

13 MS. KELLY: Right now, I'd like to make a
14 small adjustment to the schedule. Kurt Yeager is here
15 to speak from the Galvin Institute and has a commitment
16 that he has to be in San Francisco in a very short
17 period of time. So we're going to move him to come up
18 and speak now before the second panel and that way he
19 can make his appointment in San Francisco. And I have
20 to dismiss the first panel, thank you very much.

21 Mr. Yeager has joined the Galvin Electricity
22 Institute in an effort to perfect the electric power
23 system shortly after it was launched by former Motorola
24 Chief Bob Galvin in 2005. Yeager worked with
25 electricity experts, innovators and entrepreneurs to

1 design and build perfect power system models of a smart,
2 efficient electric power system that cannot fail the
3 consumer. He also leads the initiative in driving the
4 electricity power changes necessary for system
5 transformation at the state and federal level. Mr.
6 Yeager?

7 MR. YEAGER: Well, thank you very much.
8 Indeed it's a delight and an honor to be with you this
9 morning and thank you for adjusting the schedule to
10 permit me to participate. Unfortunately, I had a
11 previous commitment that I have to meet today with a
12 Board.

13 I, of course, have been a longtime resident
14 and ratepayer in California. I spent 30 years with the
15 Electric Power and Research Institute and spent the last
16 eight years as the President and CEO working closely
17 with the utilities here in California. Since then, our
18 work with the Galvin Electricity Initiative has been
19 more in other states; it's only been recently that we've
20 only started working with it in California. I'm
21 delighted that we have that opportunity now because
22 California should be the leader in this transformation.

23 When Bob Galvin invited me, when I retired
24 from the EPRI, as I had the privilege of knowing Bob for
25 some years and he'd been on our advisory council, he

1 said, "Kurt, I know your frustration with the lack of
2 innovation in electricity as that's where
3 telecommunications was 30 years ago. A lot of pent up
4 innovation and a business model that has no incentive
5 for innovation." So this is not fundamentally about
6 technology, which is sitting on a shelf that's been
7 there for decades, it is about transforming the business
8 model and the policies that restrict today's utilities
9 from really progressing.

10 I think it's important to note a couple of
11 basic principles here that I think that we're all aware
12 of but it's good to be reminded because we must think
13 outside the box. You cannot think about how we can
14 incrementally change the status quo. No. This is a
15 transformation. Electricity is the engine of prosperity
16 and the quality of life. Everything we have depends on
17 electricity. Utilities are clearly the most important
18 industry in this nation. Our whole future depends on
19 it.

20 The reason that Bob Galvin and I are doing
21 this after we retired, we had pretty good careers - his
22 was better than mine but I have nothing to complain
23 about, what is the legacy that we are leaving for our
24 grandchildren. This country is going downhill and the
25 electricity foundation which we created in the

1 depression in the 1930s has got to be reinvented for the
2 21st century. And our competitors around the world are
3 moving much more aggressively in this matter.

4 Electricity, first and foremost, is a consumer
5 service based enterprise. It is not about bulk energy,
6 dumping it at our doorstep. It's about the quality of
7 service that can be provided. We are still in, and in
8 fact I would say almost before the black rotary
9 telephone era of electricity, and we have to move to the
10 internet equivalent era. And if we do, and I'll talk
11 more about that in a moment, the benefits will be
12 immense.

13 Technology can indeed relieve the cost
14 pressures that we've had a taste today at every level of
15 our economy through elevation of electricity service and
16 value. This is not about shaving a couple of dollars
17 off my or your electricity bill. That certainly can be
18 done. But the real basis of this transformation is job
19 creation. This country has become the world's greatest
20 exporter of jobs and the electricity system is certainly
21 a major contributor to that reality. If we are going to
22 get back to a global leadership in innovation it's got
23 to start with electricity. And that requires
24 transformation of the infrastructure, the policies and
25 the business model.

1 I was very pleased last week. I was invited
2 by the White House to go to Washington for the release
3 of their 21st century grid policy framework which I'm
4 delighted to see at that level reflects a great deal of
5 the recommendations that we have made. It remains to be
6 seen whether there will be more than what I call
7 political rhetoric however because both parties before
8 the last election were on record at the very senior
9 level saying that the transformation of our nation's
10 electricity system was essential to its sustainable,
11 economic, environmental and energy secure future. And
12 that is the bottom line. So that is not one party.
13 This is a bipartisan issue that has to be implemented.
14 It can't be implemented in a month or a year but it can
15 be implemented in a decade or two but it requires
16 consistent leadership.

17 And so these are the four points: align the
18 market and utility incentives to accelerate smart grid
19 investments and a point here that this is a matter of
20 state regulators who forgot to do that, unlock the
21 utility sector innovation potential again they point to
22 the states, empower consumers to enable informed
23 decision-making. Only at the federal level do they
24 focus on improving grid security. I believe,
25 ultimately, I don't want the federal government to run

1 my power system but I do believe that we need the
2 federal government to establish standards and hold each
3 state accountable to those standards. Bottom line, and
4 to quote Bob on it, America cannot build a 21st century
5 economy with a 20th century electricity system.

6 I'm pleased that I see increasing frustration
7 at senior levels in utilities. I was at AEP a week, two
8 weeks ago, in Ohio and I interact with a lot of
9 utilities around the country. I was down visiting the
10 San Diego Gas & Electric awhile ago who I view as one of
11 the leaders in the transformation effort and a
12 comprehension basis. "It's all about the customer today
13 but we know very little and have no regulatory
14 incentive." These are quotes that I'm taking from
15 various CEOs and very senior leaders in utilities.
16 "Customer price transparency is key with education and
17 automation." I'll talk more about that in a moment.
18 "And our infrastructure and policies are legacies of the
19 1930s indeed." That's how we were until the depths of
20 the depression. Until we electrify this country, we'll
21 never get out of the depression. Well, we will never
22 get out of this so-called recession until we re-
23 electrify this country. It may not be as deep a hole
24 but it will be a longer, longer, longer, downhill run
25 until we do this transformation in a comprehensive way.

1 And we have to get beyond the infrastructure and the
2 policies that we established in the 1930s. We finished
3 that job 50 years ago but we're basically still
4 operating under the same set of realities.

5 A quote I like to use is from Henry Ford, "You
6 know when I asked people what they wanted, and they said
7 'Faster horses.' " And that's basically where people
8 are today and I would say unfortunately a lot of people
9 in utilities as well. This is not about a faster horse.
10 This is about the equivalent of opening the door for
11 automobiles. And just as when automobiles--there was no
12 incentive to pave roads until we had automobiles, we've
13 got to pave the electricity roads today and, again just
14 as with automobiles, it's primarily the communities.
15 It's the distribution system. And I'm delighted that
16 this conference and more and more, we're really focusing
17 on the distribution system because that's where the
18 action is. We can bring wind power in from the Dakotas
19 but that's trivial relative to the whole process of
20 transforming our distribution systems to enable all of
21 the objectives that we are trying to achieve.

22 So we are working in a number of states and
23 communities because regrettably community
24 municipalities, where the stockholder and the ratepayer
25 are essentially one and the same, tend to be more

1 progressive in transforming. And we're working with a
2 number of communities who are saying, "We're losing a
3 number of jobs." And that people were losing jobs and
4 companies because they're saying the electricity service
5 reliability is too poor. So we're working building
6 microgrids in a number of communities and the
7 universities that bring together all of these pieces.

8 And the whole idea of these demonstrations is
9 that consumers are not going to believe anything I have
10 to say or anything else from other people. They're
11 going to believe what they feel in their hip pocket.
12 "Are you taking money out or are you doing something to
13 put money in my pocket?" And these demonstrations are
14 demonstrating that the payback is almost immediately at
15 least three to four to five dollars for a dollar
16 invested. So this is not about raising electricity
17 rates or raising taxes. Done properly the system can be
18 done by opening the door primarily to private sector
19 investment but we've got to recognize that the key to
20 transformation, as it was in telecommunications and
21 every other industry, is opening the door to
22 entrepreneurial innovators. And that's why California
23 should really be a leader because you've got Silicon
24 Valley here which has got the bulk of it and is where I
25 interact with all of my colleagues in Silicon Valley.

1 They have immense frustration over the lack of access to
2 the market in a way that would allow them to make money
3 so that they could invest money is amazing. And, of
4 course, I know and used to be good friends, and some of
5 them still are, with utility CEOs like John Rowe of
6 Exelon for example. He said, "Kurt, I agree with you
7 entirely but if I did what you want me to do today, my
8 stockholders would fire me tomorrow." That's what we
9 have to recognize, that for investor owned utilities
10 that we have to get all the key stakeholders together.
11 Stockholders, regulators, the ratepayers, the inventors
12 and all say, "Okay. This transformation has got to
13 happen. We've got do it now. Not a decade from now but
14 now." And we've all got to recognize that we've got a
15 common denominator of value among us to make that
16 happen.

17 Now you're going to hear from Craig Lewis and
18 here in California in the last year, I'm delighted that
19 the California Clean Coalition and the Community Choice
20 Aggregation Group in Marin County, that we've engaged
21 with them and are working with them to try to advance
22 some of these concepts here in California and adapt them
23 to make them effective here in California. I'm
24 delighted that Community Choice Aggregation did not get
25 destroyed a year ago. The Community Choice Aggregation

1 is an important dimension of opportunities for
2 communities, not just to aggregate load, but to
3 ultimately to really raise the bar on the quality of
4 service for their distribution systems.

5 I know PG&E does not agree with this number
6 here. I'm really going to defer a bit to Craig Lewis
7 who's going to be talking a bit later on the California
8 Clean Coalition on a couple of these numbers. Certainly
9 from my experience, and someone whose home is in Aptos
10 Hills and all the farmland of 15 acres, all entirely run
11 by solar energy. And I don't get much of a bill from
12 PG&E anymore but I also give them as much energy as I
13 use. If I had a feed-in tariff, I would put in a
14 storage system and I would be quite willing to sell that
15 power back. There is no reason why, with the dynamic
16 pricing, you ever would need to build anymore peak
17 generation. Consumers and buildings should be the
18 generators.

19 As you know Germany and Spain, particularly
20 Germany, are moving particularly aggressively in
21 distributed generation with a power system that is not
22 that advanced; although I would say that they have made
23 some improvements. However, I would say that it is not
24 that advanced and not that fundamentally different from
25 ours. If we had the modernization of the grid, of the

1 distribution grid, we will have all of these benefits as
2 well and that's where the focus really needs to be
3 again. On the distribution grid. But comprehensively,
4 not say only as distributed generation. Distributed
5 generation is one dimension of a modernization process
6 but you have put them all in a package and go forward
7 accordingly.

8 Smart grid—and I don't like to use the term
9 smart grid because it is so abused. Intelligent grid,
10 to me, is a much more appropriate grid. A smart grid is
11 a transactive network, seamlessly connecting networks
12 and consumers. Right now the grid ends at the meter.
13 No the meter is not an Iron Curtain with utility as
14 prisoners on one side and consumers as prisoners on the
15 other. The end of the grid should be the end-use device
16 in the business or home. And then as an absolutely
17 open, free flow of information and energy at all times
18 literally at the speed of light. Right now we have a
19 power system, when I talk to people and they don't know
20 it very well I say, "What would you think of a railroad
21 that took you 10 days to open and close the switch.
22 Would that be a smart or a dumb railroad?" And they
23 say, "Oh, that'd be a dumb railroad. Nobody would do
24 that. You wouldn't move the transmission anywhere
25 else." Well, that's where we are in electricity because

1 we're still operating with analog electro-mechanical
2 control and relative to the speed of light that energy
3 is flowing, even though that might be a switch
4 equivalent to a 10 day delay. So if the lights all went
5 out in Palo Alto and surrounding areas last year when we
6 had that plane crash, there's no reason for that kind of
7 things to happen today. That should be isolated so that
8 it is a very, very small point.

9 Price response of end-use devices. This is
10 not to send people price singles and it's an open
11 market. Not everyone wants it. Not everybody buys a
12 cell phone the day it came out, I certainly didn't. My
13 grandchildren tell you me, "You talk a good digital line
14 but you're as analog as anyone we can consider." They
15 do things with cell phones and computers that I don't
16 have a clue to what they're doing. But it is the
17 younger generation that's really going to make the
18 businesses explode positively in this whole matter. But
19 it's going to require empowerment, the internet
20 empowerment, by virtue of sending the signals to all the
21 devices in the home or business and you simply say when
22 price gets here I want this to shut down 10 percent, 20
23 percent, 50 percent, 100 percent. Whatever. And it can
24 be managed entirely. And as you move forward with
25 distributed generation, when the price gets here I want

1 to sell my excess to the grid. And if we have a truly
2 intelligent grid that will be very easily done. And it
3 will save everybody a great deal of money and create
4 business opportunities, particularly here in California
5 that are missed.

6 So you have to remove barriers to retail
7 competition and by that I don't mean how we work in
8 Texas, I don't mean how many suppliers of bulk energy,
9 I'm talking about the competition. Open the door so
10 that the services that will allow me to use the
11 information about my cost and use of power most
12 effectively so that I can go to Google Earth or Cisco,
13 or whoever I want to go to, and get the systems to make
14 it all work. This will both tremendously increase
15 consumer and producer benefits.

16 Engaging customer acceptance. As I say, words
17 will not do it. You'll have to engage them through
18 dynamic rates, technology and education, motivate
19 through savings and automated control, prices to
20 devices; and the light through easy, enjoyable,
21 fulfilling experiences. I can't even imagine someone my
22 age but as I talk to people in Silicon Valley the kinds
23 of things they bring forward if we had the electricity
24 equivalent to the internet would be amazing. And the
25 amount of things people would buy would raise the value,

1 you might sell less electricity, but I would bet you the
2 value of a kilowatt hour would go up dramatically and no
3 one would need a rate gun pointed at their head. They
4 would buy it because they wanted the use of the tools.

5 So that to me is the really-is really the key
6 here to customer acceptance. And that's what we're
7 doing in a number of communities around the country now
8 and working with people so that we can demonstrate that
9 so people can really understand. And early adopters, so
10 as early adopters, not everybody at once. You don't
11 force real-time pricing at everyone, it's there if you
12 want it. If you want real-time pricing, we'll give it
13 to you. You can use it anyway you want; it's your
14 information. It's not my information. It's your
15 information. And that is the key here to work toward
16 that.

17 So as I wrap up here with some intelligent
18 policy recommendations that we put together, again,
19 working with communities in several states. As I said,
20 Texas, we're working very strongly in, obviously,
21 Illinois, Pennsylvania, Massachusetts, California not
22 yet. California is much more advanced in renewable
23 energy and many of these other dimensions California is
24 not. And it has to all be done in a comprehensive
25 manner. So provide consumers with choice of access to

1 transparent, real-time electricity pricing, recognize
2 that all customers' specific data belongs to the
3 customer, and establish strict district reliability and
4 efficiency standards. The standards we have in this
5 country aren't worth the paper they're written on. This
6 country—the average reliability of electricity is among
7 the lowest in the developed world. The average consumer
8 in the United States is out of power four hours a year.
9 It doesn't sound like very much but if you've got a
10 digital business, when a fraction of a second will shut
11 down your assembly line that's tremendous. And there is
12 no country, major country, that we would use a
13 competitor, in Europe or Asia that has that poor of
14 reliability. And that's just one dimension but it's a
15 very important one. Hold utilities publically
16 accountable to specific performance standards. I'll
17 wrap up my show with a couple of those standards. This
18 again, the public needs to understand however their
19 money is being spent in the distribution system. Is it
20 just being spent to bring in more bulk power from the
21 outside or is it really being used to upgrade the
22 system? Link utility earnings to service quality not
23 quantity of sales. Performance based rates. And San
24 Diego Gas & Electric is a good example of a company that
25 makes more money for its stockholders now even though

1 they sell less electricity. So while there's decoupling
2 has gotten a bad reputation, it may be used a bit, but
3 performance based rates are essential to our future.
4 Expand net metering to include physical and virtual
5 aggregation. And of course this is where distributed
6 generation comes in very importantly, enable retail
7 energy management service competition to incent
8 entrepreneurial and utility innovation. But it's going
9 to be the entrepreneurial innovators that are going to
10 bring this forward. AT&T knew all about cell phones and
11 didn't want to touch it because they were in the black
12 rotary dial phone business. They make a lot more money
13 now in the cell phone business than they ever did in the
14 black rotary dial phone business. But that was the
15 status quo. This is not an indictment of utilities. It
16 is the status quo and if I'm running a utility, I have
17 to take money from my stockholders living within the
18 rules as they exist. I can't jump outside of those
19 rules so all of us come together and help lead this
20 transformation. And require absolute operability as
21 smart grid components. One of the biggest challengers
22 that we have because missed, word quotes "missed", on
23 this getting there has again there's a lot of pressure
24 as we have over 250 standards that are now used across
25 the industry which is the very opposite of

1 interoperability. You go back a 100 years, General
2 Electric and Westinghouse as well all designed different
3 design plugs for the wall. We have our design plug in
4 your house than you can only buy stuff from house. But
5 they pretty soon found that that was not a market
6 advantage. All that did was limit the market. So we
7 have to recognize the absolute interoperability for
8 security as well as operational purposes must be done.
9 The states have got to hold the fed accountable to get
10 that job done quickly.

11 Wrapping up here. We have created what we
12 call The Perfect Power Seal of Approval modeled after
13 the LEED Building, smart building, and model to provide
14 specific criteria and measuring levels for consumer
15 empowerment, efficiency in environment, reliability and
16 cost. And that's all on our website as galvinpower.org
17 and so I would certainly encourage you to look at that
18 and if you have constructive suggestions or criticisms
19 you may have about what that is. That's been developed
20 with a variety of different other organizations and we
21 are jointly moving forward with this with Underwriter's
22 Laboratory which is our partner in moving this whole
23 process forward.

24 And I'll close by our book Perfect Power and I
25 show that because this discusses this far more in-depth

1 than I did. I didn't bring those books along but I did
2 bring a stack of these Electricity Revolution which
3 discusses some points I talked about here and gives
4 examples of both the pluses and minuses in different
5 states. And Perfect Power—one of the criteria that Bob
6 said when we started he said, "Kurt, this is your
7 business. You go ahead and do it. One thing I'm going
8 to hold you to is do not set a goal of anything less
9 than perfection. Because anything less than perfection
10 will simply settle you for mediocrity." So perfection is
11 always over your head but if you're not reaching for
12 perfection, when I played sports my goal was to win
13 every time, not win 10 percent or 20 percent. I didn't
14 necessarily win every time but that was my goal and we
15 have to have the same thing here. Perfect power service
16 must be the goal and we must all be absolutely committed
17 to doing that. That is the only way that we'll get this
18 country back on the road to progress. Thank you very
19 much.

20 MS. KELLY: Are there any questions from the
21 audience? Quite rousing. We have one question.

22 MS. KOROSSEC: Question from Stephen Davis.
23 Stephen, your line is open.

24 MR. DAVIS: Hi. I'm Stephen Davis. Thank
25 you, thank you Mr. Yeager. Quick question. Last year,

1 the State of Colorado passed what's called the Solar
2 Gardens Act which I think is kind of in line with your
3 thought process of enabling virtual ownership of solar
4 shares of large solar arrays that are non-ambiguous to
5 the property but within the serving area of your
6 utility. What are your thoughts on the Solar Gardens
7 Act?

8 MR. YEAGER: Well I am not an expert on it but
9 what I do know is that it is definitely moving in the
10 right direction and I'm glad to see that Colorado is now
11 beginning to think about this and show some real
12 leadership in this so that their experience that they've
13 had recently is not left as an example that was a bit of
14 a failure and so we want to make sure that all of these
15 demonstrations are really effective. So I think they're
16 on the right track. And again, Craig Lewis, who's been
17 really active in Colorado as well may have some comments
18 on this when he speaks this afternoon. Thank you.

19 MR. BROWN: Merwin Brown with the California
20 Institute for Energy and Environment with the University
21 of California. Hi Kurt. We've worked together many
22 decades now and also share some of your vision on where
23 this can go. The question though that I ask is that it
24 seems to me we're fighting a considerable inertia,
25 that's a reasonable inertia, which is the extent of the

1 investment that is out there to move quickly with a
2 standard net investment and secondly there's the economy
3 of increasing returns where it's easier, cheaper to just
4 keep patching the old system rather than get a new one.
5 And so what I guess I'm trying to say is that the vision
6 is perhaps the right one, how do you get there from here
7 quickly? I don't see how you make the revolution happen
8 without, so to speak, a lot of people getting hurt in
9 the process?

10 MR. YEAGER: Well, it is a revolution yes but
11 I prefer the word transformation. The people—I see no
12 people getting hurt if this is done properly. And I
13 don't see that the infrastructure that we have is
14 rendered obsolete. This is not a matter of ripping out
15 the infrastructure that we have. It's fundamentally
16 about moving from analog to electronic control. And
17 then to sort of pry open the door so that you can use
18 the internet to send the information back and forth to
19 consumers. So it is an opportunity. There is no real
20 infrastructure that is lost. What we can do, though, is
21 save on the amount of new infrastructure that we have to
22 build because we'll get a great deal more capacity out
23 of what we have and we will not have to build the peak
24 generation. Right now with the economy down and the
25 utility's infrastructure a bit underutilized but I think

1 that when the economy does come back we have to start
2 building new infrastructure and they're going to be rate
3 cases which become a political third rail. I think that
4 will move to more consumer empowerment than we have
5 seen. I think that there is no real danger to--and we've
6 been demonstrating that in communities in this matter
7 and communities are doing it. They're doing it and then
8 they're not going out and getting a lot of extra money.
9 They're not necessarily getting DOE money. They're
10 doing it because they have the means to do it and as
11 long as they have long-term financing then they don't
12 have to do anything to raise the bills for the consumers
13 in the process.

14 Good. Well thank you so much for the time and
15 the opportunity to speak with you. And like I said, I
16 hope we've opened the door. Not that everyone will have
17 heard or agree with everything that I've said but if I
18 can urge you to think outside the box, challenge the
19 status quo and I would certainly appreciate your
20 critical feedback. If there are things that you really
21 want to challenge, please do so. We're not here for
22 anything except to help catalyze progress for our
23 children's grandchildren. Thank you.

24 MS. KOROSSEC: All right. We're running a bit
25 late and so to rather than dilute what should be a good

1 inverter discussion with low blood sugar I'm proposing
2 we take lunch now and return back at 1:00 for our second
3 panel and we'll try to catch up in the afternoon. Thank
4 you, everybody.

5 [Meeting resumed after lunch.]

6 MS. KOROSSEC: All right. We're going to go
7 ahead and get started again. Thank you, everybody.

8 MS. KELLY: Okay. Welcome back from lunch,
9 everybody. The message for this afternoon is less is
10 more. Try to really make sure that you look at those
11 presentations and get to the points that you want to
12 make so that we have time for some discussion to include
13 everybody. Okay.

14 COMMISSIONER PETERMAN: And maybe efficiency
15 is the right word to use. Efficiency will be key here.

16 MS. KELLY: All right. Good. This next panel
17 that we're going to have here is going to discuss
18 Inverter functions to support the safe management of
19 increasing amounts of local DG and storage on
20 distribution systems throughout the state. This is
21 really an important issue that was brought up in a May 9
22 workshop here that having communications between the
23 inverters and the distribution system was very important
24 in Germany and in Spain and it's an important issue here
25 in California. Frances Cleveland will moderate and

1 introduce this panel. Francis is the President and
2 Principle Consultant for Xanthus Consulting
3 International. She has been active and served on
4 standard committees and working groups with the National
5 Institute of Standards, NIST -You'll hear NIS mentioned
6 enough to know what that stands for, National Institute
7 of Standards and Technology. As well as the
8 International Electro technical Commission which
9 developed international standards. When you see these
10 in some of these presentations you just have the
11 abbreviation for that, the IEC, in front of all of those
12 numbers. Frances?

13 MS. CLEVELAND: Good afternoon. It's supposed
14 to be good morning but it is good afternoon. We also
15 now have six presenters where we started off with four.
16 I'd like to start off with indentifying the questions
17 that we were attempting to present on and then some
18 discussion items that aren't really presented but are
19 open for discussion. So the first key one that probably
20 most of the utilities will be addressing is what are the
21 key distribution system operational challenges from high
22 penetrations of distributed generation and storage
23 including electric vehicles? The second part is there
24 are a number of standards, won't go into the details,
25 but how or will the IEEE 1547.8 which is the new

1 electrical connectivity standard in development, but how
2 will that address interconnection standards challenges
3 and what are the advanced inverter functions like the
4 ones that are being proposing on the German grid codes.
5 How are they being defined and what kind of challenges
6 will those post? And what will the communication
7 requirements be to make sure that all of this high
8 penetration inverter based functions will need. So
9 we'll also try to have discussion questions, because it
10 always comes up, is the compensation for customers. If
11 you're going to produce something other than watts. And
12 then potentially get into some of the NIST standards,
13 the five IEC standards, we'll see where that goes.
14 Anyways, so those are the basic questions that we're
15 being asked to sort of address.

16 And we'll start off with Bob Yinger of SCE.
17 He is a consulting engineer, that's not a consultant,
18 he's a consulting engineer working in the Advanced
19 Technology Group at the Transmission and Distribution
20 Business Unit at Southern California Edison. This group
21 is responsible for researching and bringing into use new
22 technologies for SCE. Bob?

23 MR. YINGER: Thank you, Frances. This
24 afternoon I want to talk a little bit about some of the
25 things that we're doing at Southern California Edison

1 and working with a lot of others, actually, across the
2 industry and sort of some of the things that we're
3 finding with inverters and high penetration of inverters
4 because we actually are challenged with that right now.
5 We have a program right now to put 500 megawatts of
6 inverter-type photovoltaic units on our system and on
7 our distribution system. And we sort of need to answer
8 these questions now. We have an order of 28-29
9 megawatts of those commissioned and online today. And
10 it's growing.

11 But what I wanted to talk about was two areas.
12 One is sort of transmission level impact areas and
13 everybody talks about and you hear things about spending
14 reserves and variability but there's a second piece of
15 it that's overlooked which is how do you hook these
16 things up to your distribution system. And I think
17 that's a really important piece and that's the key issue
18 that we're seeing first and foremost on the system today
19 because as you get more and more of these PV plants
20 involved and they, a lot of times, show up in clusters
21 on a small number of circuits.

22 We went through a program of actually testing
23 inverters and subjecting them to a variety of faults,
24 transients and other typical kinds of things you'd see
25 on a day in a life of the grid. And how did they

1 behave. Sort of the steady state questions are pretty
2 well understood but those transient ones that, you know,
3 in that one second or less type area are less well
4 understood. We grouped sort of those issues we
5 identified and those issues came out of the tests and
6 some modeling we did after that. There's some
7 protection issues, how do you protect the circuits
8 electrically. And then there's the sort of engineering
9 and designing issues which is sort of the steps you take
10 before you install that system. There's the third area
11 which is once you put those in operation. So what kind
12 of issues do you encounter. And a little bit of a
13 graphic here, and forgive the colors here, but we're
14 looking for an easy way to identify which issues we
15 think we've got issues around or things we need to do or
16 things we need to get different answers to and then
17 which ones we think going forward that we're going to
18 have more trouble with.

19 And for protection issues that everyone is so
20 worried about on the front end are probably not at the
21 front end of our list in the areas of concern. We still
22 do need to find out what our best solutions are around
23 the overall circuit protection coordination. So how do
24 you make sure that there's a fault on the little piece
25 of the feeder or the whole feeder doesn't trip, only

1 that little piece does, you look a little bit at if
2 there's an issue with reverse current flow. Many of our
3 feeders that's not a huge issue at this point. We do
4 have some where we may have to look at that probably
5 these are the longer ones and the more remote rural
6 areas. What happens—what are the fault currents coming
7 out of the devices? How does that affect your breakers
8 and your breaker ratings and those kinds of things, so
9 we need to look at that. Some of the testing we're
10 doing is helping us identify really how those inverters
11 behave during a fault so we have good numbers for those
12 studies. So when you have good numbers, you can do that
13 studies. If you're kind of just reaching in the dark,
14 you're in trouble.

15 The other two at the bottom of the slide, the
16 ground fault detection. We know how to deal with that
17 with other generators and sub transmission and
18 transmission detection issues really are not a huge
19 problem at this point because they are two way power
20 flow systems in most cases today anyway.

21 From the engineering and design area, probably
22 one of the chief areas we're concerned about is around
23 the voltage regulation on circuits when you have a lot
24 of these devices out on the end of a circuit, actually
25 if it's a longer circuit with higher impedances, if

1 you've got a cloudy day and that sun is coming and
2 going, you'll see your voltage winging up and down on
3 the end of that circuit. There's another phenomenon
4 that we identified based on some papers we saw and some
5 tests we did. But if you have an inverter generating at
6 full power and you go over and you just disconnect it
7 from the grid, the investor side of that switch might
8 see as much as two-and-a-half times voltage for anywhere
9 from one cycle to four or five cycles. That's some that
10 you can deal with but that requires some changes to the
11 inverter control structure. So these are kinds of
12 things that we're thinking about. Is the case really
13 there that we're worried about most if you have, say
14 eight or ten megawatts of generation on a circuit Sunday
15 morning, you have one megawatt of load, car comes by and
16 hits the pole, the wires are hanging over the street.
17 Normally what we do is we go into the sub and open the
18 circuit breaker on the circuit so that the crews can
19 safely restore that power. If you do that, you're
20 isolating more 10 megawatts of generation with very
21 little load. You might cause over voltages to all the
22 customers on that circuit. So this is definitely one
23 area that we need to look a little more into.

24 Communication protocols. And I know Frances
25 is going to talk about that. I'm going to skip over

1 that one for her.

2 Harmonic issues don't seem to be a huge
3 problem. The inverters look pretty good, most of the
4 ones we've seen. The one area—the one caveat to that is
5 that we are starting to see frequencies that have pulse
6 with modulation frequencies that are up in the 80th
7 harmonic and higher numbers. Most power quality
8 equipment doesn't go above the 50th or 60th so you don't
9 even see these, you have to go looking for them if you
10 know where to look. I don't think it's a huge problem
11 but I do think we do need to start thinking about that a
12 little more. Then there's the obvious design issue of
13 conductor and transformer sizing which is something that
14 you have to do for any generation or load on a circuit.

15 Systems operations. This is now once they're
16 in service, we want to look at today we switch pieces of
17 circuits around if they get too heavily loaded, we'll
18 switch it on to a surrounding circuit. So now it's a
19 little more complicated because you have generation out
20 there that varies with time of day so you're going to
21 have to plan a little better if I switch this piece of
22 circuit over, you know pre-dawn, is it still going to
23 work when the sun comes up or vice versa. If I switch
24 it over during sunlight hours is it still going to work
25 when the sun goes down.

1 We need to probably learn a little more on
2 some of these larger inverters. We need to monitor
3 those and again some others will address those.

4 Low voltage ride through is a transmission
5 sort of problem but should be implemented down at the
6 distribution system. And today's standards really don't
7 allow you to do some of these things, the 1547 standard,
8 so that's why when Frances mentioned 1547.8 is going to
9 attempt to address those.

10 And then sort of the last one is remote
11 switching capabilities. We may need to, for some
12 reason, safety related or whatever need to section off
13 some of those larger units. We know how to do that.
14 We're trying to figure out how to do that at the least
15 cost.

16 Inverter standards has been a major discussion
17 and the volt VAR and the low voltage ride through are
18 probably some of the critical issues. The original
19 standard was developed around very disbursed units, kind
20 of low penetration. Since we're moving beyond that, we
21 go to the 1547.8 and when you start touching that, then
22 you've got to go in and touch the underwriter's lab 1741
23 which is sort of how you certify and test 1547 and then
24 you probably have to go in and touch California Rule 21
25 because it refers back to those other standards.

1 What's our ideal inverter? This is a laundry
2 list that we've been putting together. This is by no
3 means final but we think it needs to help regulate
4 voltage. We think we probably need some fast
5 overvoltage protection so avoid those spikes when you
6 shut the inverters off. And manufacturers can do that.
7 It's a software issue generally.

8 Fault current contribution. We need to come
9 up with how we want that to look and again that can be
10 varied.

11 Low voltage ride through. It's probably with
12 high penetrations that you don't want to lose all of
13 your generation at once. So you're going to need some
14 low voltage ride through.

15 Maintain the low harmonic distortion that
16 we've seen in the past. And potentially be able to
17 curtail power level remotely. This comes out of the
18 German code, you'll see that in there also.

19 Communicate in a standard manner to make it
20 easier for us to integrate these into the system.

21 And then, the last one, is kind of an
22 interesting concept. You want to be able to have these
23 devices contribute to your system stability so if the
24 voltage goes down you'd like them to maintain their
25 power output and not have their power output go down

1 when you most need it on the system. So you'd like them
2 to help support the grid opposed to being a load on it
3 at all times.

4 So anyway, that's a really quick overview of
5 some of the things that we've found. With that are we
6 going to go to questions or the next person?

7 MS. CLEVELAND: So are there questions?

8 COMMISSIONER PETERMAN: I have a couple of
9 questions but I'm happy to save them for the whole panel
10 though as all of the utilities might be able to answer
11 them.

12 MR. YINGER: Okay. Thanks.

13 MS. CLEVELAND: Okay. So we'll move on to the
14 next speaker. Tom Bialek whom you've already met this
15 morning is currently employed by the San Diego Gas &
16 Electric Company as Chief Engineer on the Smart Grid
17 Team. I will leave it at that.

18 MR. BIALEK: Thank you, Frances. I appreciate
19 it. So I get the opportunity here to talk to you again.
20 Probably expand a little bit more about when I spoke to
21 you this morning.

22 I think one of the key points from SDG&E's
23 perspective is the need to get ahead of this issue as
24 opposed to a wait and fix it problem. The existing
25 energy feed-in tariffs for large customers that are

1 installing one megawatt systems really have no
2 requirements imposed on them. They basically
3 interconnect, operate all they have to do is replace
4 their meter technology if it doesn't already exists.
5 Some of the graphs that you see are one of those
6 systems. So the real challenge here is when we think
7 about—we like to talk about cost causation what does it
8 all mean—as a state and as a utility that's moving
9 towards the future and we expect to see more of these
10 devices the real question becomes what do we have to do.
11 Do we as a utility actually put systems in place on our
12 side of the meter? We can go out and buy equipment that
13 Bob talked about and some of that equipment is
14 available. And we can take care of that in a similar
15 fashion as we do with capacitors today so that we can go
16 invest in dynamic bar devices and potentially resolve a
17 significant amount of issues. We would likely, in the
18 end, go and do that and we could put it on circuits
19 everywhere so now the question is that the best and most
20 optimal solution so.

21 Same kind of things I talked about this
22 morning. I'm not going to take a lot of time. Frances
23 told me I had 10 minutes so.

24 Here's a little bit more detail. Here we kind
25 of get into more of these things. Voltage fluctuations

1 and protection, operation, forecasting PV levels. I
2 mean this is sort of alluded to a little bit in the
3 morning but because it is an intermittent resource, a
4 variable resource, the big key from an operational
5 perspective becomes how do you forecast these things.
6 What's the output going to be like? Both from an
7 operational perspective but also from a capacity
8 planning perspective. And I did kind of touch on the
9 impacts on CVR. I know because this keeps coming up in
10 presentations I've been involved in where consultants
11 come and tell us if we just keep reducing the voltage
12 everything will be fine. We'll have lower losses and
13 more efficient systems. If you were to actually look at
14 what these PV systems do at the end of the meter, they
15 actually raise the voltage. And so the effect is even
16 though you've put in place systems to actually operate
17 under the 120-114 at the meter you're now being forced
18 out of that range so there's some inefficiencies there.

19 Power quality, harmonics, flickers, load
20 violations, kind of interesting but Bob talked about it
21 as two-and-a-half per unit. That would likely be in
22 form of violation and for those who don't know what that
23 is that's basically a sort of industrial computer
24 electronics standard that manufacturers are designing
25 to. Now that's not to say that that one violation might

1 cause the equipment to fail but multiples would likely
2 cause them to fail. And then issues around utility
3 safety.

4 So I think to follow on what Bob said, we are
5 doing a lot of different studies. We are concerned
6 given what we've seen, and I'll show them again to you,
7 but really what is going on from a transient perspective
8 and being able to measure that because I think that
9 really becomes the challenge here. If you were to go to
10 the ISO and ask them today what is it that you're
11 measuring or on transmission machine operators they'll
12 tell you that they're measuring 60 metric values and
13 they see how those vary up and down. Those are averages
14 over a significant amount of time. That's the way that
15 we've historically calculated it. I think that's not
16 the only issue and so when you start looking, you start
17 to see things and we start to see things and we start to
18 get worried. And that's sort of where we are as we're
19 trying to push this along. We don't want to wait.

20 So again same kind of data but here's multiple
21 days of data. So the question is for any particular
22 hour, how would you forecast this. And this is 10
23 minute interval data opposed to one second data which is
24 what you saw before. Those curves look significantly
25 different as you speed up the assembly rate. The

1 question is how important is that? I think really the
2 question becomes how important is the power quality
3 ultimately to the end users.

4 Here's the existing Rule 21 so you've got
5 these voltage trip settings. You come off and tell me
6 how long you got. And you'll notice this greater than
7 or equal to 106 but less than or equal to 132. That's
8 in one operation. That's the normal operation software
9 with no arranges. It's outside arranges that we provide
10 service to our customers. It's also outside the VBR
11 ranges. And we have looked at that from both a SEDEMA
12 perspective but that does cause issues as well and
13 flicker.

14 I mentioned this before but this is a really
15 short version of the German PV experiments. I think
16 while in general our systems are designed similarly one
17 of the big fundamental differences between most U.S.
18 companies and the German utilities, and maybe the
19 European utilities for that matter, is really that most
20 of these are prophase large capacity, large conductors
21 of primary voltages, large service transformers with
22 multiple customers connected to them. So we are
23 nominally, you know, at 25 service transformers with 25-
24 55 KVA. We're talking anywhere from 8-10 customers per
25 transformer. In Germany for their transformers they're

1 talking about hundreds if not thousands depending on how
2 big their transformer is. They are obliged to provide
3 coupling for the PV connection and 25 percent of the
4 cost is imposed on the distribution company. And if
5 they must cover the rest they will. They talk about how
6 they don't really talk about it in terms of PV, they've
7 got other means that they use to justify the project.
8 They are not in any granular measurement of current.
9 And, interestingly, you don't hear this too much but
10 they do have voltage regulation issues on the secondary
11 network. The same issues that we're starting to see.
12 Low voltage, high PV output and signs of fluctuations.
13 Their solution is, similar to one of our solutions, they
14 need upgrades. From that, if you take a look at their
15 experience and what they've done, they've got their new
16 draft code and it's really looking at requiring PV
17 systems to support the grid. And ultimately look at how
18 the upgrades minimize cost.

19 Looking around dynamic grid support. So Bob
20 talked about this.

21 Active power control and reactive power
22 control. So today that energy metering, everybody has
23 their own set of unity power factor, max power point
24 tracking and they're pumping out as much as they can
25 because they're incented to do that. That's what the

1 tariff does.

2 So as we talk a little bit about what we think
3 about smart grid and the future part of that answer gets
4 to be what does that tariff look like and should you
5 change the tariff. It shouldn't just be a kilowatt or
6 per kilowatt hour tariff. Should it be a kilowatt hour
7 and a kiloVAR? And basically can we have the customers
8 remain neutral from the revenue perspective?

9 There are very specific requirements that are
10 being in this code. These can all be programmed into
11 your inverter and that's the beauty of the inverters.
12 There's software behind it and as long as you know what
13 to program into it, guess what, you can plug it in there
14 and have it operate the way you want. And that's
15 actually a good thing. We believe that, ultimately,
16 from a smart grid operational efficiency perspective
17 that's something we're definitely going to require. But
18 we've also realized that there are various methods to
19 provide that reactive support and so I'm doing more here
20 than someone from the front office. There are various
21 methods of providing those VARs but the key here is that
22 you are now, as opposed to a single entity power factor
23 controlling the inverter. They're now talking about
24 quadrant control. So to the point that, I think, we
25 talked about it this morning, we talked about dynamic

1 pricing, dynamic pricing becomes key to having customers
2 participate but you also have to have the appropriate
3 demand response programs which we ultimately believe
4 will ultimately be pricing based.

5 And then from a liability and safety
6 perspective there's a lot of discussion around
7 synchrophasors, discussion around commission-based
8 maintenance. One kind of interesting thing here is that
9 is weather integration forecasting abilities. As we
10 move forward, you think about what you're really asking
11 the grid to do. You're asking the operators to control
12 the grid and respond to it and resources that are
13 controlled by how much wind is blowing and how much
14 cloud cover you have. And so the whole idea of weather
15 station integration and forecasting abilities is part of
16 the overall sort of smart grid perspective is actually
17 very important. How can we couple energy storage?

18 All sorts of other technologies. We're
19 looking at various things. One of the things I'd like
20 to point out here is that we're spending a significant
21 amount of time doing power quality field measuring and
22 analysis where we are looking at one second data and
23 tenths of a second data on certain circuits with PV on
24 it. One of the other things, I think one of the
25 questions is what are you doing, have you actually

1 looked at anything. We actually just—we're in the
2 process of signing a contract with General Electric to
3 actually put in a dynamic VAR device or that one
4 particular circuit where we do have issues and do
5 evaluations of both modeling as well as measurements to
6 see how well does that help us integrate that particular
7 set of renewables.

8 I think in summary from SCE's perspective, and
9 Bob talked about this as well, inventing rules and
10 requiring modifications accommodate high PV penetration.
11 If we don't do that we're going to be left with a
12 scenario where it's all going to be 12,000 megawatts of
13 PV and unity power factor and that's the last thing that
14 we really need.

15 The draft standards can be like today.
16 Actually field measurements and modeling are important.
17 We really should leverage, it makes no sense not to
18 leverage, less learned in all the European countries.

19 And then one thing as I point out here, and
20 may make you scratch your head, when all these devices
21 go off, they're all set to go back on at the same time.
22 So now imagine that you have 12,000 megawatts of some
23 generation device, it turns off. Okay. But then it also
24 all comes back on maybe five minutes later, exactly five
25 minutes later because that's what they're all instructed

1 to do. So now the grids going to sit there and bounce
2 all over the place. So the reality is that there's some
3 additional functionality that actually needs to be built
4 into the system and with that I will stop.

5 MS. CLEVELAND: Any questions for Tom? We'll
6 wait. Okay. Our next speaker will be Jeff Berkheimer
7 from SMUD. He is the Project Manager in SMUD's Research
8 and Energy Group working on distributed generation and
9 storage projects. These projects focus on the
10 evaluation and demonstration of new generation and
11 storage technology and how to integrate these
12 technologies into existing distribution systems
13 infrastructure and design. Thank you.

14 MS. MACDONALD: Thank you, Frances. My name
15 is Rachael MacDonald and I just wanted to mention a
16 little bit on the agenda change. I apologize for any
17 confusion this may cause. We asked SMUD to specifically
18 present on their PV inverter work and so we're going to
19 have them on this panel as well just to have them speak
20 on the next panel as well, on the POU discussion.

21 MR. BERKHEIMER: Yeah, so I heard less is more
22 so I'll try to keep this moving along here. So
23 basically from a distributed generation and specifically
24 a storage and PV integration standpoint, for SMUD when
25 you talk about DG we're basically talking about solar.

1 So most of this is going to be based around that.

2 The role of SMUD in PV's future, we have about
3 20 megawatts installed today with a goal of 130
4 megawatts net meter by 2016. Last year we rolled out a
5 feed-in tariff program that was very successful. We had
6 a 100 megawatts fully subscribed basically within two
7 weeks of opening the project. So that was really
8 helpful.

9 Kind of forecasting forward what we expect our
10 PV contributions to be on our distribution system going
11 out, this just kind of shows going out to 2013 that
12 we'll have about 170 megawatts total.

13 Right now from a resource planning, an
14 integrated resource planning, standpoint one of the
15 scenarios we're actually looking at is to have possibly
16 500-800 megawatts of solar. It's not necessarily that
17 this is the preferred integrated resource plan but it's
18 definitely something that our distribution engineers and
19 the company as a whole have to look at and say how would
20 we be able to integrate this quantity of distributed
21 generation of PV into our system and what are the risks
22 and rewards. Certain solar industry reports are talking
23 about grid parity being possible within 5-10 years so
24 the technologies are really going to come down in price.
25 We have a total commercial rooftop potential of over

1 1,000 megawatts and our total brown field and green
2 field potential in Sacramento is many times of our
3 energy need as a whole.

4 This graph, I think you guys have seen quite a
5 few times, but it basically shows typical PV production
6 and then typical system peak production, especially for
7 a utility like SMUD. We take good solar production but
8 the problem is like most other utilities is that it's
9 sometimes like four or five hours before our system can
10 peak. While that's great, we would really like to find
11 a way to bridge that gap and bring it more on system
12 peak so that we can get the whole benefit of that
13 generation. The bottom part of this is just showing
14 some typical graphs from partly cloudy conditions to
15 partly clear conditions and the resultant intermittency
16 that some of these PV rays can have. So this really
17 speaks to the nature of if you had high penetration of
18 PV on your circuits, it's not necessarily a resource
19 that you can count on like typical generation. It's
20 something that you have to recognize that can drop off
21 significantly in a short period of time.

22 Current expectations is of up to 50 percent of
23 our PV system output can be lost within a minute. That
24 would be devastating if you have half or 75 percent of a
25 feeder load being served from PV production and it's a

1 short feeder and intermittency of cloud cover would
2 affect a lot of your solar rays at once. Just as an
3 example, 250 megawatts would result in a loss of 125
4 megawatts within a minute. Our resource planning
5 requirements wouldn't be okay with this, this is too
6 high of a level of production drop. And the minute-to-
7 minute load fluctuations at SMUD are currently much
8 smaller of down to 10-20 megawatts.

9 Correlation of disbursed large systems are not
10 currently well known but SMUD is doing a lot of work
11 right now of trying to study this. We've been
12 installing a five kilometer grid of solar irradiance
13 center across our entire distribution system and we're
14 collecting 15 second data right now on it but just to
15 kind of match that up with actual solar production data
16 to get a feel for what is the correlation and
17 coincidence factor from a drop in PV production amongst
18 certain PV systems within our system.

19 The importance of variability. Like I said,
20 this just kind of shows that when you aggregate multiple
21 PV sites your variability is better or not as bad as an
22 individual site but it can still be significant.
23 Especially on a feeder by feeder or a substation by
24 substation basis, it's something that we're looking at.

25 Near-term integration issues. Obviously

1 evaluating the impact of these variable resources on
2 distribution feeder voltage levels. SMUD has all the
3 same technical issues that you're going to hear from all
4 the other utilities here. We're concerned about voltage
5 levels probably predominantly but reverse power flow and
6 some of the other things.

7 Validation of caps on capacity on feeders at
8 100 percent of minimum daytime load. Right now there's
9 not a good common agreement amongst the utilities on
10 what the appropriate penetration levels are. So a lot
11 of the work we're going is going to determine is it 100
12 percent of minimum load and some of the other rules of
13 thumb that you've heard of.

14 Identifying and testing appropriate mitigation
15 strategies to accommodate higher penetrations on
16 feeders. So this is really where the storage and solar
17 forecasting components come in. Where can we allow
18 higher levels of penetration about 100 percent if we can
19 guaranty that we can control the ramp rates and kind of
20 fill in the sudden losses of PV production with energy
21 storage or some other technologies? Or curtail output
22 when we know it's going to be a very intermittent
23 production day to kind of minimize the voltage impacts
24 when cloud cover comes through.

25 And then identifying priority areas and limits

1 for PV on a distribution system. Obviously, there's
2 going to be some areas where you don't want intermittent
3 generation just because of the sensitive loads that
4 might be in the area.

5 The medium term integration issues for the
6 volt VAR system are obviously evaluation of the variable
7 impacts on regulation requirements. Forecasting the
8 error impacts on the ancillary service requirements and
9 associated costs. And then your redesign of your
10 distribution system as a supply source to volt VAR power
11 system.

12 And then the next couple slides are actually
13 the more interesting, I think, of the presentation. So
14 this is talking about some of the specific
15 demonstrations that we have going on right now. SMUD
16 has a subdivision out in Rancho Cordova called the
17 Anatolia subdivision where every single home, right now
18 there's about 275 homes that have been built. It'll be
19 closer to 600 when it's finish, but every single home
20 has high building efficiency measures and solar arrays
21 on their rooftops from 1.9 KW up to 4.8 KW. And in
22 these homes what we're looking at is we know that
23 there's certain times of year, certain times of the day
24 that a net generator is actually sending power back to
25 our distribution system. So what we wanted to do was go

1 out with some storage demonstrations, specifically for
2 the lithium ion batteries at both the residential energy
3 storage level and also the community energy storage
4 level and figure out how effective is it to use these
5 energy storage devices to firm PV output through—from
6 the intermittency and then also to try to do some
7 smoothing, some renewables of energy time shift to
8 establish how easy is it to communicate with these
9 inverters at the energy source devices to change modes,
10 to put it in from a peak savings mode to a firming mode.
11 And if we're getting too much production and we want—we
12 decide that we want to use these batteries to charge and
13 kind of add some load to the system, you know, how
14 efficient is that?

15 And then a second component to that pilot,
16 which kind of goes along with the advanced inverter
17 communications panel that we're doing right now, is that
18 we're going to be looking at our ability to use our
19 existing AMI communication infrastructure to talk to
20 these inverters, which are behind the customer panel and
21 customer meters, as if they're another distribution
22 device. We want to know is it a simple matter of
23 inserting a network interface card and sending basic
24 signals to try to change the mode of the inverter to
25 curtail output? And put it into standby mode? It's not

1 a very clear-cut question among SMUD and some of the
2 utilities that we've talked to as to whether or not
3 these will be easily integrated to look like another
4 data point on our AMI system or if you truly have to
5 install a secondary communications system to talk to
6 these devices.

7 And, obviously, that would allow you to talk
8 to your generation and your storage devices as actively
9 controlled rather than just a passive device on the
10 grid.

11 The second demonstration that we're doing is
12 with two half megawatt, zinc bromine flow batteries, and
13 one of these flow batteries is being installed on that
14 same Anatolia circuit. It's connected directly to the
15 feeder, just above the entrance to that subdivision.
16 The intent here is looking at we're going to contrast is
17 it more effective and more efficient for the utility to
18 try and firm PV output on an individual home basis with
19 residential energy storage or on a community storage
20 basis aggregating 8-10 solar arrays from homes or from
21 the feeder basis here were we're actually going to be
22 monitoring power flow on the feeder and controlling the
23 device from that regard. Again, we're going to be
24 looking at the ability to talk to the advice and put it
25 in different modes, control it actively, have it

1 possibly receive weather data, solar irradiance data and
2 try to firm PV output from that versus actual monitored
3 data. And then, obviously, the other typical use cases
4 of peak load reduction and load shifting.

5 A project that SMUD has been working on, the
6 second one, is the Sacramento Solar Highway Project.
7 We'll be building 1.4 megawatts of PV and concentrated
8 solar along two different sites along the U.S. 50
9 corridor. In and of itself, that wasn't overly exciting
10 in the R&D arena but we got an augmentation to the grant
11 where we're going to be able to work with Sac On and A123
12 to test out some of their advanced inverter technologies
13 and, again, the lithium battery storage system. So you
14 can kind of see the bottom left here on the diagram a
15 single DC bus going through a single inverter. The
16 inverter improves solar harvest by a good 5-12 percent
17 over the standard inverters. We're going to be looking
18 at using the storage and this common inverter to
19 minimize the impacts of variability. Again, controlled
20 ramp rates, voltage regulation, voltage sag mitigation
21 and peak load shifting so this is just kind of another
22 site location to look at for large scale solar and
23 energy storage integrated in one unit.

24 And then coming down the line, some of the
25 projects that we're looking at right now and considering

1 for future demonstrations are automatic voltage control
2 technologies to mitigate volt fluctuations. This is
3 back to the conversation of truly what does it do when
4 you have these inverters that aren't going to be
5 operating at unity power factor and can actively be
6 providing VARs to your system to flatten and minimize
7 voltage fluctuations. We really want to take a look at
8 the benefits of less volt fluctuations versus the
9 possible negative impact of having quick and
10 uncontrolled, or less controlled, volt flow coming back
11 on our system.

12 Voltage sag and swell ride through. Again
13 this goes back to the discussions that we were just
14 having about the German standards in transmission and
15 that you wouldn't want everything just dropping off for
16 momentary sag.

17 Over and under frequency ride trough and then
18 dynamic VAR support. So these are—I think all of the
19 utilities in the room have beat these issues or talked
20 about these issues enough. I forget this was being
21 recorded.

22 [LAUGHTER.]

23 So that's all I have today.

24 MS. CLEVELAND: Okay. Thank you. So now
25 we're going to go on to a couple of companies that have

1 been involved in some of the standards to try and
2 address some of these issues. The first one is, and
3 they're both virtual people, so we'll have to bear with
4 that.

5 COMMISSIONER PETERMAN: I'd like to ask some
6 questions of these panelists before we move on to them.
7 Thank you very much. Just a couple of quick questions.

8 First of all, Jeff. I'd like to thank you for
9 mentioning the PIER grant. Again, we are trying to do a
10 lot of work in this area and I'm glad that we can be
11 supportive.

12 My first question not only pertains to the
13 appropriateness of the existing inverters we currently
14 have or use in the state in terms of being able to have
15 the characteristics of the qualities that were mentioned
16 in a couple of presentations. But specifically to get
17 at, will we have to upgrade these inverters and is that
18 possible through a software change or are we required to
19 change out the infrastructure going forward as we expect
20 to have new standards in this area. And then about what
21 time do we expect to have them and what does that mean
22 for what we currently have installed? And then I'll
23 just reference in particular Bob, your slide 8 that
24 contemplated inverter characteristics and if you could
25 just speak to the current technology.

1 MR. YINGER: Okay. Let's see if I get the
2 laundry list right here on questions. We feel that
3 today a lot of inverters do not have the features we
4 want out there for high penetrations. Now today we're
5 not generally at those high penetrations yet although
6 we're getting close on some of our circuits. The good
7 news, and I think Tom talked about it, is these are soft
8 of a software driven piece of equipment generally. And
9 you can, a lot of times, go in afterwards and make some
10 modifications that don't involve changing out the
11 hardware but putting in a revised version of code there.
12 Sort of a revision of the software and get a lot of
13 these features. One example we had is if you look at
14 this overvoltage problem that went on for several
15 cycles. We told the manufacturer and he said, "Oh.
16 I'll send you a new version of code and it will fix
17 that." We downloaded that and then it looked a lot
18 better.

19 So I think the changes can be made over time
20 so we have some slack there, a little bit, but as Tom
21 also mentioned we'd like to get in front of this problem
22 rather than start and then have customer problems we
23 have to react to. So the more we can do now on the
24 front end the better off we'll be in addressing these.

25 Did I get all of those?

1 COMMISSIONER PETERMAN: You did. Just an
2 observation, as we're talking about inverters, we have
3 the very small 2 KW systems on a house and we're also
4 talking about systems that may be 20 KW on the utility
5 side. And then on the characteristics and issues. Some
6 of them seem to me that they would be more of a problem
7 with the larger systems than the smaller. As you
8 provide additional comments, it would be helpful for you
9 to touch upon those different markets.

10 And then, my second question is related to
11 Tom's presentation. You talked about the German grid
12 code. Just looking at the quality of the code that you
13 highlighted, I was wondering if you'd be able to speak
14 to how different it is from our existing code and this
15 might be something that Frances could contribute to as
16 well.

17 MR. BIALEK: Sure. Well, what I tried to show
18 in the end was for the actual algorithms that actually
19 exist today and exist in inverters, they are pretty much
20 driven by certain percent levels, again, as it's
21 software driven. They'll monitor what's going on based
22 upon those tables and decide what to do. Basically
23 they're offline and how long they'll remain offline.
24 What you're really asking the inverters to do in this
25 particular case is be more of a contributor to trying to

1 maintain the reliability of the grid as opposed to
2 automatically tripping off to protect the inverter. So
3 low voltage ride through is an example of where you're
4 really saying as the voltage of the grid drops, if it's
5 not corrected then ultimately you'll start to get large
6 generation systems flipping offline. And so anything
7 that you can do to present that, to the extent that
8 that's feasible, is a good thing because they'll reduce—
9 they'll help impact the potential for significant large
10 cell back up. And so that's what these additional
11 functionalities do. They're really trying to provide
12 some additional capabilities for the grid. If you think
13 about that, as I said earlier, if you install 12,000
14 megawatts of PV that has just simple unity power factor
15 of on / off functionality and then when that happens,
16 it's going to be a real problem. However, if it has
17 this additional functionality then at least it can
18 operate pretty consistently at what is required of these
19 energy generators today. And to one of your points,
20 ultimately from the size perspective, yes size does
21 matter and so you can argue that the Germans actually
22 control 100 KW and above systems. You can get to a
23 point where you can say for the larger systems, I want
24 communications, I want control, I want more
25 functionality. However, what you can also say is for

1 these smaller inverters, because they'll be a
2 significant number of them, I want them to operate
3 slightly differently from what they have in the past and
4 you can incorporate some characteristics that actually
5 allow them to be much more supportive of the grid on
6 very local levels.

7 COMMISSIONER PETERMAN: Thank you. That was
8 very helpful.

9 MS. CLEVELAND: Okay. So we'll now move onto
10 the first NREL and then EPRI with respect to this. So
11 Ben Kroposki is with NREL from the National Renewable
12 Energy Laboratory. He manages the Distribution Energy
13 Systems Integration Group at NREL. His expertise is in
14 the design and testing of renewable and distributed
15 power systems with a focus on photovoltaic systems and
16 grid integration. He has served as Chairman of the IEEE
17 1547.4, which is another one of these standards and that
18 was for the guide and operation, and he's also been
19 involved with 1547.1 but today's he's going to discuss
20 basically the draft process that we're working to go
21 through 1547.8. So. I'll let Ben start talking.

22 MR. KROPOSKI: Okay. So let me know if you
23 can hear me properly.

24 MS. KOROSEC: Yes, we can hear you just fine,
25 Ben.

1 MR. KROPOSKI: Okay. Then I guess I'm going
2 to need someone to start turning pages for me. Please
3 go ahead through the next four slides. This slide is
4 just to highlight the concerns that utilities have with
5 high penetration of distributed generation. I think all
6 the utilities know these pretty well so we won't go
7 particularly into a lot of detail on these. Onto the
8 next slide, please.

9 Okay. So inside IEEE 1547 and this is
10 actually a series of standards starting with the initial
11 standard 1547 gives interconnection request requirements
12 for installing distributed generation on the grid. And
13 these are pretty much a standard rule that utilities
14 have adopted on how to interconnect distributed
15 generation. Dot one gives us procedures around those
16 and you can see from the dates on those, 2008 that 1547
17 was reaffirmed and that 1547.1 is actually up for
18 reaffirmation this year and we're in that cycle. So
19 every five years these standards must be revalidated and
20 reaffirmed.

21 One step that we'll really get into today is
22 of the current projects and one that I'll just mention
23 really quickly is 1547.4 was just validated and approved
24 as of last week. So that's moved from a current project
25 to an actual standard. And I think if you hit the

1 button one more time we have a couple of other standards
2 that are in the works, .5, .6 and .7 but 1547.8 just
3 started last year and I'll kind of talk about where we
4 are in the progress on that standard. So go to the next
5 slide.

6 Okay. So 1547.8 is really a draft recommended
7 practice that looks at how to supplement the use of
8 1547. So 1547 is very detailed and is a very specific
9 requirement with how to interconnect distributed
10 generation. And as we've talked about higher
11 penetration levels, there are things inside 1547 that
12 don't always make the most sense for when you go to very
13 high penetration levels. And so 1547.8 is a standard
14 that's really looking at how do we identify what those
15 potential issues are and start to make progress toward
16 making the standard really more friendly for higher
17 penetration levels. Next slide, please.

18 Really the intended audience of 1547.8 is
19 looking at the utility planning engineers also there are
20 federal agencies that use these standards. The
21 equipment manufacturers because they really would like
22 to have standardized requirements to build the products
23 and then there's distributed resources, developers and
24 owners. Next slide, please.

25 So right now, the way this standard is being

1 designed is that it is going through and sort of
2 reflecting the 1547 clauses. So there's specific clause
3 requirements within 1547 and .8 looks at each of those
4 clauses and then tries to develop methodizations on when
5 you have high penetration of distributed generation how
6 does the standard need to be adjusted. And really it's
7 intended to make PV and other generation systems utility
8 friendly. You heard from discussions from the utilities
9 on where they see those ideas going and so they've been
10 very helpful working with the standards organizations to
11 get those implemented into the standards. And really,
12 we're looking at how do we incorporate this advanced
13 functionality into the inverters themselves. Okay. Go
14 to the next one.

15 So just as a practice of focus in 1547.8 and
16 you can see a lot of commonality with what has been
17 discussed in terms of issues with high penetration
18 levels and what we would like to see inverters start to
19 be able to do. The topics deal with things like voltage
20 regulation, the monitoring and communication aspect, how
21 do you really respond to these abnormal utility
22 conditions, what kind of power quality do you need,
23 coordination with other certifications and installation
24 guides. And the reality is how do you make sure that
25 the distributed generation, when there's problems on the

1 grid, is available to help out the grid because of the
2 fact that there's such high penetration levels. Okay.
3 Go ahead to the next slide.

4 So we've been working with EPRI and I think
5 EPRI is up next to talk a little bit about some of the
6 advanced inverter functions that they're planning on
7 incorporating. And these are also getting addressed
8 within 1547.8 so that we can look at what type of
9 advanced inverter functionality is needed and how do we
10 make the requirements for manufacturers to start
11 building products that will conform with our standards.
12 So this is set up for phase one. You can go ahead to
13 the next slide.

14 This is kind of looking a bit further out in
15 terms of phase two. But EPRI has done a really good job
16 in terms of defining what the function should be and
17 then trying to come up with a way to get these
18 management integrated into inverter technology. One
19 more slide here and the next one.

20 Just kind of a status of where we are. This
21 one is on a pretty fast track and we're working with
22 NIST who's trying to speed this standards process up as
23 much as possible. We had a kick-off meeting basically a
24 year ago and a second meeting where we had our first
25 draft document in February. For the first draft

1 document, we already had a 91 page sort of resource
2 draft created. So we do have a working document that's
3 starting to get a lot of discussion around it. We've
4 planned on having our next meeting on 1547.8 the first
5 week of August. And we're trying to push this through
6 the standards process as quickly as possible,
7 understanding that the standards process does require
8 consensus and to get an approved standard it normally
9 takes a few years. So it can range from a couple of
10 years to five years which is about what it took us to
11 get the original 1547 done. You can start using draft
12 standards. And that's one of the things that I would
13 recommend sort of that the community and especially
14 California and the utilities take a look at which is
15 what can we start to do now that would help us make this
16 a better standard in the long run.

17 So with that I'm done with my presentation.

18 MS. CLEVELAND: Okay. Do you have any
19 questions? Okay. So we'll move on to then next EPRI.
20 We have here physically Don Von Dollen from EPRI but the
21 presentation will actually be made by Brian Seal. Brian
22 Seal is the Technical Executive at EPRI and he is the
23 manager of a project for inverter functions involving
24 utilities, vendors, integrators including Germans who
25 call in, believe it or not from Germany once a week or

1 once every other week. So this has been a tremendous
2 effort and Brian will tell you some more about it.

3 MR. SEAL: Okay. Thank you, Frances. Can you
4 hear me okay?

5 MS. KOROSSEC: Yes.

6 MR. SEAL: Okay. Great. I appreciate the
7 opportunity to be able to share with you, I wish I could
8 be there in person but travel limitations wouldn't allow
9 it, but if you could just go to the next slide.

10 Just very quickly the perspectives, I think I
11 can make up some of the time and then save it for the
12 question session, but just for perspectives that EPRI
13 has to share really come from a broad spectrum of
14 research with a lot of different utilities so we get to
15 work with some that are already dealing with high
16 penetration systems and aggressive RPSs and some of them
17 who have none at all and very few signs of solar high
18 penetration appearing in their area. Also, our work
19 with the Smart Inverter Initiative turned out to be the
20 right project at the right time and has engaged a large
21 number of individuals and has enabled us through surveys
22 and prioritization workshops that we've done to really
23 gain a lot of insight into what's needed from the
24 utility side and also what's possible from the inverter
25 manufacturer side. And by really overlying those two,

1 we were really able to, through this consensus project
2 really come up with a prioritization list. So that's
3 where that phase one and phase two list came from.

4 We have a dedicated research project or
5 program within EPRI that is dedicated to distributed
6 renewables integration. And it is of high interest and
7 very much of a hot button issue for us looking at the
8 advanced functionality of the devices but also a lot of
9 system simulation, distributing modeling and simulation,
10 so that before we even have these advanced
11 functionalities built we can simulate devices that would
12 have those capabilities and then model what their
13 response would be on systems. Go ahead, next slide.

14 So the first perspective is that communication
15 connectedness is key. We found that, particularly
16 within the U.S., utilities did not have much interest in
17 advanced functionality of distributed inverters unless
18 there was a communication connection to those devices so
19 asking what would you like those systems to do, how
20 would you like those systems to behave when you cannot
21 communicate with them there was not much interest.
22 Basically the existing 1547 rules be quiet, disconnect
23 if anything does go wrong but when you add the
24 communication connectedness and the ability, or the
25 authority, to reach out and reconfigure and manage those

1 devices then immediately you end up with a long list,
2 like the ones we've seen from Tom and Bob and Jeff, just
3 this long list of potential functionalities that are of
4 great interest. Next slide.

5 So we began our work thinking about
6 communication protocols. We looked at the gap that was
7 initially identified was the lack of standards in the
8 area of communications protocols but as we began to move
9 down that road we ran into this problem of lack of
10 uniform functionality. It was sort of enlightening, at
11 least for me, that in the metering areas and other areas
12 where we had worked with communication standards the
13 functionality or the capabilities of the devices were
14 fairly well defined. What we found in this area of
15 smart distributed resources is that all the vendors have
16 capabilities that are grid supported. They all have
17 communication capabilities but they all implement these
18 things in different, generally proprietary, ways. So
19 when you aggregate multiple sizes of system, multiple
20 types of devices back to the system operator it's quite
21 unusable. So we ended up coming back first and said the
22 conversation we have to have is about common
23 functionality. What are some of the services that could
24 be supported by a wide number of devices in a uniform
25 way? Next slide.

1 So a perspective here, and this is based on
2 our demonstration projects and also on our extensive
3 modeling work, and this is probably looking a little
4 further down the road than the current problem that you
5 face. We would suggest that distributed resources,
6 particularly smart inverters, can become desirable
7 distribution system resources. Not just tolerated in
8 high penetration but actually beneficial because of
9 their ability to respond not just to communication in
10 the wide areas but also to voltage infrequency locally.
11 Perhaps a little bit of storage mixed in but also demand
12 response and together we believe these things can really
13 provide, in the distant future, benefits to the systems.
14 Next slide.

15 So just a point to throw out there. In the
16 integration, the communication integration, which is
17 certainly very lacking today does not necessarily have
18 to be high bandwidth. So one of the most valuable
19 things that utilities brought into this discussion over
20 the last few years has been an emphasis on high
21 performance and high functionality of the devices but
22 not requiring high speed communication to perhaps tens
23 of thousands or hundreds of thousands of devices in the
24 field. The way the work has been carried out, that
25 looks to be completely possible by having more

1 autonomous behaviors that are really conferrable at any
2 time but also manage their own affairs intelligently
3 based on local frequency and voltage. Modes of
4 configuration so that you can fast reconfigure large
5 numbers of devices between preconfigured behaviors you
6 can switch them from mode A t mode B in coordination
7 with switching equipment with capacitor banks or other
8 traditional distribution equipment. We would suggest
9 that AMI and SCADA systems, of the kind that we're
10 familiar with today, are suitable for integration of
11 these types of devices sort of like we heard from the
12 experimentation being done at SMUD.

13 So this is a list of key functionalities.
14 We've seen several of these so I won't belabor this.
15 Just one point on the asterisks. Some of these
16 functions do have question marks tied to them where
17 there are potential customer sensitivities and we talk
18 about smart volt VAR management but inverters can only
19 make VARs to the extent that there's overhead available
20 so do we intend for them to reduce their watts
21 generation in order to do VAR support. Certainly watt
22 volt management would relate to that. Curtailment of
23 any kind, really, relates to asking the question of what
24 is the incentive, what is the policy, what is the owner
25 of the assets reasons for participating in these things.

1 Certainly a gap going forward. Next slide, please.

2 Okay. And I think this is my last slide. So

3 of course continued work is needed. And just teeing up

4 a few things here, one I just mentioned. The

5 manufacturers and the owners have to understand why

6 their projects should be grid supportive. What's the

7 value proposition for them? Standards work has to

8 continue. We feel that we just scratched the service in

9 this area. Most of the work has been at the table, not

10 in the field, so there are question marks across the

11 board regarding the way the functions have been

12 implemented. The transient nature of their behavior.

13 One thing that is very interesting, and it relates back

14 to my initial slide about communications being key, the

15 German grid codes did not presume communications in many

16 ways. They worked very hard at identifying specific

17 behaviors and then codified those by requiring inverters

18 behave a certain way. In the U.S. what we see is less

19 confidence in a specific configuration and instead an

20 immediate need or an immediate interest in having

21 configurability of those behaviors and then the

22 communication connecting us back to the central office

23 so that over a period of time we can perhaps discover

24 whether there is a single configuration or behavior that

25 really could be baked into a product out of the box that

1 did the desirable function for its lifetime. Today, at
2 least in the U.S., we don't seem to have any confidence
3 that we know what those settings would be and maybe we
4 could have some discussion about that. We see a
5 significant gap back at the central office. We spent a
6 lot of focusing on the devices themselves, how do we
7 make inverters smart. How do we make them communication
8 capable? But when we get back to the central office
9 where we're trying to coordinate those behaviors along
10 with the switches and capacitor banks and line
11 regulators that we already have, there hasn't been much
12 work in that area and we think that's been a gap. And
13 then the last bullet there, we already had someone
14 already mention there about islanding being may be
15 needed with certainly high penetrations of traditional
16 unintentional island techniques are more and more likely
17 not to work with the smarter we make these inverters
18 because a lot of these functions tend to seek frequency
19 nominally, they tend to see voltage nominal and react to
20 deviations away from that. More intelligent or more
21 active anti-islanding techniques may be needed. And I
22 think that's the last slide if you want to advance.

23 MS. KOROSSEC: Yep, that's it.

24 MR. SEAL: Okay. Great. That's all.

25 MS. CLEVELAND: Okay. I'm coming over here to

1 do the final presentation on this panel two. However
2 Brian certainly covered many of the issues that I am
3 going to cover so I will sort of take the opportunity to
4 expand on some of the things that he said.

5 One of them is that when we developed these
6 functions, we decided to use an existing IEC, that's
7 International Electro-technical Commission, standards
8 but expand it in order to accommodate these inverters
9 which of course have never been modeled before. So
10 these were information models, not models of the
11 inverter, but information models and that has been a
12 very successful process.

13 I'm just covering four key things. Why are
14 inverter functions important. To some degree that's
15 been stated over and over again today and so also then
16 I'll cover some of the key inverter functions and 1547.8
17 approaches to communication and then just throwing in a
18 possible approach for California, certainly it's just my
19 opinion so that it can have tomatoes thrown at it and so
20 forth.

21 Okay. So just to quickly recap some of the
22 things that have been said about inverters. Why are
23 they important? First of all they're used by virtually
24 every single DER, distributed energy resource, including
25 generation and storage. Any one of those that requires

1 a conversion between DC and AC and even some that go AC
2 DC AC. So they're ubiquitous. They'll be involved with
3 almost every kind of source of energy. And in addition
4 inverters are now software driven and so, as Bob and Tom
5 were both saying, you can change the software pretty
6 quickly and pretty easily. Much more easily than
7 changing the hardware. That makes it very, very good
8 for establishing something, testing it out, maybe
9 changing things.

10 And as we've all said the manipulating of
11 watts we can change the output of the watts. You can
12 change the output of VARs. You can do the volt VAR
13 control frequency watt control dynamic bridge support
14 which means not only doing the low voltage ride through
15 where you do not disconnect but you also counter against
16 this low voltage so that that in of itself is going at
17 an extreme amount of VARs in order to kind of capture
18 that and hopefully not even allow a disconnect.

19 The key here is that inverters can sense local
20 conditions such as voltage and frequency and respond
21 with autonomous actions. As Brian was saying you don't
22 have to have communication. Obviously, communications
23 are useful. They can upgrade and update software and
24 issue a particular command but you don't absolutely have
25 to have them and Germany does not intend, at this point,

1 to have them.

2 So I think I will just move forward on this
3 because I think it is key from this discussion today
4 that inverter functions are important in California. I
5 think it will be absolutely critical to have these
6 inverters be smart so that we may, in fact, have
7 different things where these small inverters may never
8 need communication and maybe the larger ones do. That's
9 one of the things that we'll have to analyze.

10 So this is the picture that I think captures a
11 lot of the issues related to communications. If you see
12 there on the right hand side, you can have an autonomous
13 system that is completely self contained. It is just
14 managing things based on local conditions. On the local
15 voltage that it senses or the local frequency that it
16 senses. So this is very important and that's why it can
17 do the autonomous behavior. However, if you want
18 coordinate these better to understand what they're doing
19 and maybe modify what they're doing in response to local
20 conditions such as being close to a substation or far
21 away from a substation or during the summertime or
22 during the wintertime, then you do want to have more
23 communication so that you have sort of a middle section
24 that tells the inverter to change modes or to change
25 what they're doing. And then you can have way over on

1 the left, you can have the utility that may just even
2 broadcast a command that says we've got a problem,
3 everybody shut off. Or we've got a problem here, reduce
4 your output by this amount. Or change the mode that
5 you're in. But it can be a broadcast. It doesn't have
6 to be a one-on-one, you can do the one-on-one with the
7 larger inverter based systems but not the smaller ones.

8 Brian went through some of these. Were these
9 are some of the functions that we've talked about. So
10 in addition to the volt VAR functions, there are
11 abilities to do remote turn on and turn off. I can
12 limit the maximum output and to answer one of Tom's
13 questions you can add a random delta time to turn back
14 on that is part of the functions that have been
15 described. So that they will not indeed bounce back on
16 exactly at the same time. And this time window is also
17 applied to many of the other functions so not all of
18 them go into sending out exactly the same amount of VARs
19 at the same time so that you can avoid a hunting
20 possibility.

21 So there's also the modes. There's the volt
22 VAR modes, frequency watts mode, volt watt mode. A
23 bunch of them, including temperate VAR control, which is
24 equivalent to a capacitor bank these days so you could
25 even those in a similar way of capacitor banks. There's

1 also the ability to be able to send out a pricing
2 signal. It's vaguely defined at this point because
3 nobody knows what that might be but the point is that
4 you can send some sort of pricing signal and demand
5 pricing response signal and have the inverter respond to
6 it. It can also be done by schedules so that's an
7 important thing. You can schedule for behavior so in
8 the morning it does this and in the afternoon it does
9 that and so forth.

10 So this is all captured now in the IEC 61850-
11 90-7 standard which almost exists. It will be sent out
12 by the end of this week to the IEC for standardization.
13 It's already being implemented in Germany and Spain and
14 many of the other European countries. And it can be
15 mapped to different things like DMP or web services so
16 it doesn't have to be just using what the 61850 which
17 some people don't like.

18 This just shows some of the volt VAR modes, I
19 won't go into it in great detail, but the point is that
20 you can vary your VARs based on your voltage level.
21 And, in fact, in the lower one you can see hysteresis so
22 that if the voltage goes high toward the right you
23 change the VARs and if it goes low toward the left you
24 actually have a hysteresis there so that it doesn't have
25 real jumps between them.

1 Dynamic grid support which is really volt VAR
2 support in the yellow areas where you have excess—where
3 the generation unit is expected to remain connected. So
4 this goes against the 1547 right now but this is one of
5 the things that we really do need to address that and
6 change those requirements to allow some kind of dynamic
7 grid support during these times where there's almost an
8 outage but can possibly be recovered from.

9 This is one of the areas where the Europeans
10 do have this sort of must stay connected low voltage
11 zone. What you can see here is that the different
12 colors represent different countries. So that not every
13 country has exactly the same set of parameters for
14 staying connected. This is why it's important to have
15 the communications because it may say that it's valid to
16 remain connected if you're in this particular
17 environment but have a different zone area defined if
18 you're in a different environment. Microgrid might have
19 a different set of zones than might a system that's
20 connected. It might be different for being close to a
21 substation or for being far from a substation. In
22 Europe, it's basically country by country because it's
23 fixed and they don't immediately expect to have
24 communications.

25 So, not to belabor the 1547, but it is the new

1 electrical connectivity standard draft that we're
2 developing. And one of the proposed ideas is that the
3 communication requirements, which were almost
4 nonexistent in the existing 1547, but that the
5 communication requirements would be based on the
6 sensitivity of the environment. This might be similar
7 to the clusters concept that was discussed this morning
8 where you have a group or cluster of inverters and you
9 analyze what their situation is whether they're really
10 sensitive or large or have a lot of neighbors then you
11 would require communications and in other cases you
12 might say, "Eh. It's okay." And not bother to have it.

13 I think that the key here is as everyone has
14 been saying is that the regulatory and financial
15 environment of the utility has to change in order to
16 allow these things to take place.

17 So this is my stab at possible California
18 approaches to handling this rather large amount of PV.
19 It's basically the same as the European approach. We
20 recognize that, indeed, there are differences. The
21 European grid has low voltage grid lines that have 100s
22 of customers on them. We have a handful of customers on
23 each distribution transformer. It does make a
24 difference. But there could be a sequence where we
25 again approach it similarly to the Germans where we

1 initially require autonomous inverter functions to
2 respond to local conditions via preset parameters. And
3 this would mean that there wouldn't need to be,
4 initially, any kind of communications with the possible
5 addition of the ability to broadcast the-to respond to
6 broadcast or multicast emergency functions like on, off
7 and things like that so that you really step into the
8 water first. Do a lot of testing through lot of pilots
9 on these and see then what you need to do. Do you need
10 to change the settings? And if you do them first just
11 do it manually but eventually you can do it through
12 automated remote upgrade means. But I think that this
13 will be a way of moving forward that is reasonable in
14 the fact that the utilities will then have time to
15 experiment, time to try these things out. Even if they
16 start with inverters that all of these inverter
17 functions are turned off. They start out that way but
18 you can have them at least there and able to be turned
19 one when necessary, that would be a standard.

20 So as I said, that is my personal opinion and
21 I will be the only one to blame for it. Are there then
22 any questions for any of us?

23 MS. KOROSSEC: From the Committee? From the
24 audience? Please come up to the podium.

25 MR. GOODMAN: Yes. I'm Frank Goodman with San

1 Diego Gas & Electric. And is Ben Kroposki still out
2 there on the line? I have a question that would best be
3 answered by him. Are you there, Ben?

4 MR. KROPOSKI: Okay. Now I'm here.

5 MR. GOODMAN: All right. Thank you. The
6 question is this. We have a situation in the original
7 1547 where it was all or none. In other words when it
8 went to the adoption points, like Rule 21, it was
9 intended to be adopted in whole rather than in parts.
10 And now I'm wondering with 1547.8, which we are anxious
11 to try out in draft form, when it moves through the
12 balancing process and becomes an actual recommended
13 practice, will it also be intended to be adopted in
14 whole rather than in parts?

15 MR. KROPOSKI: That's actually a really good
16 question, Frank, and I'm not sure that I know the answer
17 to that right now. So that's question we'll bring up in
18 the working group. But since it is a recommended
19 practice and not a standard, I have a feeling that we
20 will be able to test run the different parts of that
21 standards as they are developed with the idea that, you
22 know, you may want to use the voltage regulation
23 recommendations from 1547.8 and nothing else. So things
24 like that. But I think that's a very good point and we
25 will make sure that we get that addressed in the work

1 group and have some language in the standard itself.

2 MR. GOODMAN: Great. Thank you, Ben.

3 MR. KROPOSKI: Thanks.

4 MR. BROWN: Dave Brown from Sacramento
5 Municipality Utility District. This question is for
6 anyone on the panel or Ben as well. Looking forward
7 about 10 years after 1547.8 is a well established
8 standard, it looks like it's well on its way to becoming
9 one, do you see a world where the initial 1547 is sun
10 setted and it's all 1547.8 or some blend of each and how
11 will we know which one to use and where?

12 MR. KROPOSKI: So this is Ben Kroposki. Let
13 me respond to that real quick. You know IEEE standards
14 have a basically five year shelf life and then after
15 five years they must be either reaffirmed or withdrawn
16 or updated. I think the last version here of 1547 was
17 reaffirmed with no changes, really for the most part,
18 because that's still where we are in the industry. But
19 with the 1547.8 being worked on I think what we'll see
20 is a merging of 1547.8 and 1547 probably in the next go
21 around of 1547 so I think there may be a little
22 confusion but say 10 years from now there probably will
23 be one standard that we'll incorporate all of the
24 necessary requirements for the various levels of
25 penetration of DG.

1 MR. MCALISTER: Andrew McAlister from the
2 California Center for Sustainable Energy. Great
3 presentations for what it's worth we like this direction
4 and we think it's very necessary and really great for DG
5 in general and great for the grid.

6 Question though from the consumer perspective,
7 either on a small skill and net meter stuff or the
8 larger systems which are obviously two different
9 markets, as we push power factors one way or the other
10 down and make them less than one to provide other grid
11 services, has there been a thought as to what this means
12 for rates and real power and how much it will impact the
13 greatest customers. On the top end it's the contracts,
14 that's obviously something that contracting can take
15 care of, but on the small end we have residential or
16 small commercial customers and it's all about real power
17 and there's no real part of a tariff that deals with
18 VARs. If you push it down a lot, you're obviously going
19 to impact the real power that you're delivering and
20 wonder if you've thought about the process for dealing
21 with that. And really, how big of a problem that is.
22 It may be on the margins and not that big of a deal but
23 I'd like to get your thoughts on that. MR. BIALEK:
24 Sure. I'll give it a shot. We thought, actually, a
25 fair bit about what that might mean in the future. We

1 talked about in our consumer vision and consumers
2 participating with providing services potentially
3 looking at a whole selection of unbundled services that
4 customers can actually participate via by tariffs. And,
5 ultimately, looking at it from a not just a kilowatt
6 hour type of perspective but from a kiloVAR hour
7 perspective. And looking to, effectively, trying to
8 have them—you know if you've got inverters there and the
9 grid needs support in a local area does it make sense if
10 you're willing to participate to not even try to come up
11 with some tariff that will allow you to participate and
12 to help support the grid. And I think in the long term
13 from SDG&E is that the answer is yes. We think that
14 there is that opportunity. I think the complexity of
15 doing so is going to be down the road but I think in the
16 longer term vision that's what we're thinking.

17 (Speaker not identified): Hi. My name is
18 Alan and I'm from East Bay Power. Actually I have
19 question for the CEC. We thought a good approach was to
20 bring a community wind turbine to the load or to the use
21 but now for the CEC the current incentive program limits
22 the first certificate of it. Does CEC plan to offer an
23 incentive to (inaudible).

24 CHAIRMAN WEISENMILLER: That would be a better
25 question for the renewable, we're looking at the

1 renewable guidebook, and that's going to be sometime in
2 the next month or two. That would be a better question
3 there.

4 MR. BROWN: Merwin Brown, CIEE. There's been
5 a number of factors addressed here today that somehow
6 reflect inertia in the grid but I've not heard inertia
7 addressed specifically. And I know there's some concern
8 about what some of these low inertia generators will do
9 to the grid. And so I guess now I have an opportunity
10 to ask an inverter expert one, can inverters be used in
11 the way at least to preclude inertia problems such as
12 low frequency oscillation creation and mode change and
13 all of this and someone mentioned also turning it to a
14 support for the grid, can you use these devices to fake
15 inertia and help mitigate oscillations?

16 MR. BIALEK: So I actually was at a DOE
17 European research agency conference and one of the
18 German utilities and professors of some research
19 organizations were actually talking about exactly that.
20 The algorithms that they used to develop that that they
21 have actually incorporated into inverters to provide
22 that service.

23 MS. CLEVELAND: I can actually add a little
24 bit if you remember the hysteresis cycle. That's put in
25 there by the Germans in particular because they

1 recognized that as a problem. There's also, as I said,
2 time windows for doing things with random—you know each
3 inverter has a random time within the time window so all
4 of these kinds—and there's some ramping and some other
5 kinds of parameters that are in there in the functional
6 requirements and specifications. Those are all meant to
7 help with the inertia issue. It's sort of, like you
8 said, it doesn't actually act like a real inertia but it
9 can sort of help do that.

10 MS. KELLY: Okay. So that it? Thank you,
11 panelists. Thank you, Frances.

12 Our next panel is on Publicly Owned Utilities
13 Perspectives and Strategies to support the state's new
14 increased renewable distributed generation goals and
15 smart grid technology options. This panel will be led
16 by Rachel MacDonald who is an Electric Generations
17 System Specialist in the Electricity Analysis Division.
18 Her background includes governmental affairs and policy
19 for distributed generation, smart grid, renewable
20 generation and distribution infrastructure. And before
21 I turn this panel over to Rachel I'd like to acknowledge
22 her help today in running this workshop, getting the
23 materials ready and helping all around. So thank you,
24 Rachael, I just really appreciate all of your help. And
25 turn this over to you.

1 MS. MACDONALD: Thank you, Linda. My name is
2 Rachel MacDonald and I apologize for the lateness of
3 which we're going into the hour. I appreciate the
4 publicly owned utilities being here. I'd like to say
5 I'm not a publicly owned utility expert. Having always
6 worked with, primarily, the investor owned utilities was
7 quite overwhelming to come into such a large and diverse
8 group of utilities that have different populations,
9 different regions, different loads. It's amazing but I
10 will say as to my involvement, mainly through the PIER
11 Research contract which I'm managing to develop smart
12 grid vision, working with the publicly owned utilities.
13 I'm learning a lot. And I will say that throughout
14 those meetings one thing is consistent from the POUs and
15 that is the customer. Customer, customer, customer.
16 All of them.

17 Through those meetings and the development of
18 that work, I brought up this workshop and the Governor's
19 12,000 megawatt goal and I had mentioned at separate
20 publically owned utility workshop and the response was,
21 "It's a state policy. We should be there." And so I
22 wanted to extend appreciation for your coming and
23 participating.

24 And so I do have John Dennis from the Los
25 Angeles Department of Water and Power here. He is the—

1 I'm just going to do the intros and then we'll just go
2 into the presentations. So John is the Director of
3 Power Systems planning and Development. He has 29 years
4 of experience with power system design and construction
5 commissioning and planning.

6 Jeff Berkheimer from SMUD, you heard from
7 earlier, again as stated earlier we did ask SMUD to
8 specifically come and talk about their PV inverter work.

9 And Craig Kuennen from the Glendale Water and
10 Power is the Business Transformation and Marketing
11 Administrator and smart grid project sponsor for
12 Glendale water and Power. He has led Glendale's smart
13 grid updates and has also worked in system design and
14 delivery for their public benefits program.

15 And, unfortunately, Steven Budget from
16 Riverside had to leave. He was here to present and his
17 presentation materials are available. He is the City of
18 Riverside's Public Utility Deputy General Manager. And
19 he is responsible for the energy delivery function
20 including engineering, operation and maintenance for
21 T&D. He's been with Riverside for 21 years and public
22 utilities for 36.

23 And I'm just going to point out Anthony
24 Andreoni from CMUA, California Municipalities Utilities
25 Association, has kindly agreed to jump up if we miss

1 anything. Interaction with Anthony today has shown that
2 he is very familiar with all of his utilities that he
3 represents and with that, Anthony please feel free to
4 jump in and I'll go ahead and start the panel with you,
5 John.

6 MR. DENNIS: Thank you for your time today.
7 I'm John Dennis, Director of Power System Planning
8 LADWP. As we indicated, we'll try to do less is more
9 here as many of these things are repeats or items that
10 would be redundant.

11 Just very briefly, some quick characteristics
12 of the City of LA. We represent about one power
13 generation of capacity or capability is about one tenth
14 of the state of California. We had a peak load, of this
15 last year, of 6,144 megawatts and collectively between
16 our generating stations and our distribution stations,
17 receiving stations we have about 200 different stations
18 in our generating and transmission, distribution
19 facilities.

20 The vision is, as many are, to operate the
21 system as safe, economical and reliable for our
22 customers. We are undergoing some significant
23 transformations on our distribution side with an aging
24 infrastructure dealing with our poles, transformers and
25 stations as well as implanting the automation

1 efficiencies and technologies that we have.

2 Just briefly we did this last year published
3 our integrated resource plan, it's available on the
4 internet, but included in there were some areas that
5 were of interest with our combined heat and power goals
6 as well as the feed-in tariff targets and goals for this
7 next year. But we did this last year achieve 20 percent
8 of our renewable energy in 2010 and obviously we're all
9 focused on the next big leap of 33 percent by 2020.

10 Currently we have 350 megawatts of CHP in our
11 system. Right now, with our distributed solar, we've
12 got about 34 megawatts or so in local solar and that
13 program is growing under the SB1 Solar Incentive Program
14 where we'll have about 130 megawatts of customer
15 installed PV by 2016. And then we'll have our feed-in
16 tariff program that's going to roll out here in the next
17 two weeks. We'll have that available as we're doing
18 some pilot studies and then DG installations, literally,
19 just thousands of installations throughout our system in
20 various sizes.

21 I'm going to skip through these on the
22 incentives. There are some things of interest in maybe
23 the future but with regards to the smart grid
24 implementation and what we're doing there. We began in
25 December of 2009 actually we have many of our smart

1 meters that had been installed, even back in 2002
2 timeframe monitoring our system. But we have a program
3 there with using ARRA funds with a 10 years project
4 focus. But we do have a collective, collaborative team
5 working with the JPLUSC and UCLA and those four primary
6 areas of customer and behavioral studies, cyber
7 security, demand response and electric vehicles. And
8 currently, we have about 20,000 fully functional smart
9 meters that are installed in our system or throughout.
10 With our initiative that we have underway, with our
11 demonstration project, our design activities for this
12 and our pilot demonstration will be completed this next
13 year with construction and a variety of test beds at a
14 variety of spots throughout our system that we'll be
15 implanting and working on very closely.

16 The challenges, I just want to get through
17 this, quite frankly this is the last page. This will
18 take a minute of time because, again, many of these were
19 already touched on earlier today in the presentations.
20 But I have to say as I work with our operations folks, I
21 really appreciate the brain trust here in this
22 particular room because these are the very things that
23 give them heartache so I'm glad to see that we've got
24 industry and utility coming together, collaborating and
25 focused on those things that really do have concern for

1 them. And so I believe that one of the questions that
2 was posed to us was what can be done and how can the
3 state help in this particular form and format I believe
4 is part of that answer, so thank you for doing that as
5 these technologies are still under significant
6 development and with that information sharing is kind of
7 a forum and this is beneficial to the utilities as we
8 share these lessons learned as well as what the needs
9 are. We're seeing those very clearly in regards to
10 emerging software, SCADA and standards development. No
11 one wants to go and rip out the new equipment that
12 you've just put in and have to put in additional
13 equipment and certainly I believe that we're showing
14 here, even today, that we're on the right track toward
15 where we need to be going and meeting that need.

16 The next item is just the potential to expand
17 existing generating assets and negatively impact the
18 local economy. We're going to get the violin out for
19 just a brief moment and that is we've been out there
20 with our rates case with the last six nights, we've had
21 six out of the ten public meetings, and last night we
22 were working in one of our poorest communities and just
23 a real concern that folks have among the cost of their
24 power and the different mandates that are coming through
25 with some significant initiatives in the power industry

1 and really some of the poorest of the poor people that
2 are there are communicating their concern that even
3 though their cost may go up 40 cents or even \$1, I
4 committed to this one lady that I would at least share
5 with you all this - that there is a concern from there
6 and we need to be continually looking at ways that we
7 can do these improvements and improve reliability and
8 environmental stewardship but also be cost effective for
9 the state of California.

10 In our responsibility, as a utility, as a
11 municipal utility, we're a vertically integrated
12 utility. So we have generation, transmission and
13 distribution responsibilities. So we're going to
14 maximize everything we can with this technologies so
15 that our customers enjoy the benefits of that but also
16 that we're accomplishing some collective goals here.

17 An excessive amount of DG. This is another
18 one that is probably in the area of greatest concern and
19 that we continue to come back to is an excess amount of
20 DG, especially during the low load conditions, may
21 result in problems controlling and operating the
22 distribution and transmission system. And I think
23 that's been hit numerous times here, even this
24 afternoon, but those are on those days where there's
25 those puffy clouds on a March day where you have a low

1 load condition and that topped with the element of a
2 negative growth at this point in time with our overall
3 power system that we're adding on more DG, that I
4 believe the area--and if we can perhaps there's another
5 follow-up workshop to get a little bit more pointed
6 toward the communication link of that--of how we--of the
7 inverter technology and the communication link as far as
8 curtailment and the economic indicators and the
9 signaling to those people. If we just think about it,
10 somebody is going to spend millions of dollars to put in
11 this technology and yet somebody is going to have that
12 master control, or maybe there's some autonomous
13 control, or maybe there's some algorithm in there that
14 we agree to but nevertheless as we're seeing in the
15 Pacific Northwest with high wind as well as high hydro
16 periods and curtailment, we see that challenge there as
17 the independent owners of those renewable resources are
18 struggling then with their performance tax credits. So
19 how do they continue to make the money that they expect
20 to but then we have control that we're curtailing them.

21 So I think that there's an element there that
22 perhaps, to throw another challenge in the room, of what
23 we're seeing and looking at and it gets--and it looks
24 like we have the technology moving forward with the
25 enabling technology but it's going to be that piece of

1 perhaps it's the economists that will now pick this up
2 and take a look at this and ask how to make this work on
3 the economic side. So we're going to struggle through
4 that but we're going to work on that continuously.

5 Last one is with regards to numerous
6 initiatives that are underway. Boy, do we have a lot of
7 them. We're working on the CO2 reduction and once
8 through cooling and 33 percent RPS and our reliability
9 standards but we're trying to put those together in a
10 very careful package. And so, again, this is where this
11 requires careful planning, proper integration and the
12 adequate central control and monitoring of our system.
13 And, again, I just want to express my appreciation to
14 some of the work that's already been done here and
15 communicated. I'm really excited about what's coming
16 out of this, especially as we talk about EPRI and how
17 they're mentioned in some of this communication
18 connectivity and dealing with that, the adequate central
19 control or how we ensure that we provide a reliable
20 service to our customers. Thank you.

21 MS. MACDONALD: Chair Weisenmiller, would you
22 like to do questions at the end?

23 CHAIRMAN WEISENMILLER: Yes, why don't we do
24 that.

25 MS. MACDONALD: Okay. Craig?

1 MR. KUENNEN: Well, thanks for inviting me
2 here. I'm Craig Kuennen, Business Transformation and
3 Marketing Administrator for Glendale Water and Power.
4 We'll start out with a little description of us. We're
5 a little bit smaller than LA. Our peak a couple of
6 years ago was about 343 megawatts but anyway, we're a
7 small utility northeast of Los Angeles. We have about
8 88,000 electric and 33,000 water meters. We're home to
9 the Americana, Disney, Nestlé and DreamWorks. We are
10 one of 33 publicly owned utilities. We were selected
11 for a DOE grant for smart grid and received \$20 million
12 and we're equally proud to receive a \$1 million grant
13 from the CEC last April to support that same project.
14 We're looking forward to working with ya'll on that.

15 As far as my presentation, I'm going to look a
16 little on our vision and then talk about our smart grid
17 project and then finish up with what we're doing for our
18 environmental goals.

19 We've adopted what's called the Smart Grid
20 Maturity Model to guide us through our planning and
21 implementation of the smart grid. I don't know how many
22 of you are familiar with that. It was developed by IBM
23 and Carnegie Melon University and it basically takes
24 smart grid, divides it into eight different domains and
25 in there you have five different levels of maturity.

1 When we first took their survey of where we were in each
2 of the domains, it was quite obvious that you could take
3 that model and actually turn it into a set of goals and
4 milestones and a strategic plan actually for
5 implementing your smart grid. So that's what we did.

6 We're planning for the future. The one domain
7 with distribution operations and so our three year
8 distribution system vision is right out of the smart
9 grid maturity model. We're going to start to deploy
10 initial grid monitoring and control gestures that are
11 tied to our smart grid vision. They'll be an emphasis
12 on communications and the smart grid automation. And
13 there's the other lower level descriptors here like
14 we're going to have a damped outage for restoration,
15 we're going to do remote access management and things
16 like that. I'm not going to cover each one because we
17 don't have a lot of time.

18 For our five year distribution vision, we want
19 to have analytics and automation and control in place to
20 operate across multiple systems and organizational
21 function. Some of these are kind of vague so what we're
22 going to do is assign people responsible for each of
23 these domains and then underneath that there will be
24 people making sure that we hit our multiple milestones
25 in the one year, three year, five year and develop

1 detailed plans to get there. So we can then gauge our
2 progress over the years.

3 And that's where we get to the distribution
4 system strategy. Here are some milestones for the first
5 year. The first one was to develop a business case for
6 new equipment and assistance related to smart grid in at
7 least one of our business functions. We did that with
8 AMI MDMS. We did a business case back in 2008. It was
9 positive. That was the basis of our grant to DOE and
10 I'll just talk a little bit more about where we're at in
11 that process. But you have to have cyber security. You
12 have to be—every step of the way you're looking at cyber
13 security. So every vendor you contract with needs to
14 meet the NERC and NIST requirements.

15 Three year milestones. A minimum 70 percent
16 of our system has distribution substation automation.
17 Twenty percent of the grid has advanced restoration
18 schemes and things like that.

19 Five year milestones. They just get
20 progressively—90 percent of grid operation planning is
21 transitioned to estimation to fact based using the data
22 we're getting from the grid.

23 In terms of our smart grid project, the \$70
24 million project covers electric and water. I think
25 we're one of the few in the country that are doing both

1 electric and water at the same time. We did a proof of
2 concept in April 2010. We've installed a citywide trail
3 post Wi-Fi communication system and that's, right now,
4 it's set up for AMI. It can also do other city
5 functions. We have plans to expand that function to do
6 distribution automation and the kind of communication
7 things that were being discussed with inverters could
8 fall within that.

9 We're about 85 percent complete with the
10 deployment of our meters. We'll be done with the AMI
11 part of our smart grid probably August or September.
12 And then we're going to be rolling our customer
13 programs, a number of enterprise computer systems and
14 we're doing a distribution automation pilot.

15 Some details about our customer programs.
16 We're right now working with a local company to put
17 together an in-home display that will be rather unique.
18 It will have multiple functions beyond just showing you
19 what your energy usage is. We think it's something that
20 customers will want in their home and they will use it.
21 So we're going to be testing that and our plan--there's
22 going to be free for every one of our customers so we
23 have probably 73,000 residential customers and this
24 display could also be used for small businesses so we're
25 talking about 70,000 in-home displays we're basically

1 going to had to customers and teach them how to use
2 them.

3 The OPower web portal. Currently, we use
4 OPower for our energy efficiency program. And that's
5 been going for about two years. It's been very
6 successful. The last two—we measured how much energy
7 savings we were receiving and it's four percent of
8 25,000 homes is a big number. We think once we—we were
9 working with OPower to integrate that into our smart
10 grid data and have a web portal that will be in place in
11 August or September where people can go and get data
12 from the day before and be able to look at 15 minute
13 data, weekly data, monthly, data. However they want to
14 dice it up and look at it. We have a number of
15 different programs that we're going to be working with
16 them—that will be part of that web portal.

17 We probably could save three times the
18 savings. We're getting four percent sending the paper
19 report out to people every two months. You give them
20 more information, I think, we could probably triple
21 that.

22 We have a thermal energy storage program with
23 one-and-a-half megawatts installed so far of ICE Energy
24 and ICE Bear Units. We're talking with them right now
25 of putting in another six megawatts. Now these are

1 smart grid enabled so we have two way communications
2 that we can change the setting on them. We can then use
3 that as a way to communicate into the building and do DR
4 stuff inside the building. There's a number of things
5 that we're going to work with ICE Energy on that.

6 There's a lot going on in our demand response
7 program that we're starting out this summer. And then
8 we're going to be looking at experimental pricing
9 programs after we get some data and things like that.

10 Electric vehicles. We just did a study.
11 We're looking at 6,000-8,000 by 2020 in Glendale so
12 that's a considerable load we have to look at.

13 Here's just some of the computer systems that
14 we're putting in. And so if you look we're putting in
15 Enterprise Service Plus. We're just finishing up GIS.
16 And then an asset management, outage management,
17 distribution management will be over the next couple of
18 years. The others depend on how much time and money we
19 have.

20 So one thing that you really have to think
21 about here is that we talk about all these technologies
22 but you only have so many people to actually implement
23 this sort of stuff and so much funding.

24 Our distribution automation pilot—we're
25 looking at—actually, we're starting it right now. It'll

1 be finished by September next year. It's limited to
2 four feeders and once we get some experience there then
3 we have a 10-15 year plan depending upon funding to do
4 the other 111 feeders in Glendale. Technologies, like I
5 mentioned, expanded Wi-Fi and other technologies that I
6 mentioned as part of the pilot. We have some other
7 things that we're doing on our distribution—we're
8 upgrading our feeders from 4KB to 12KB and just regular
9 projects.

10 And then environmental—these are right out of
11 the Smart Grid Maturity Models as well. So that's our
12 three and five year goals for that.

13 And that's all. That's what I have.

14 MS. MACDONALD: Thank you. Thank you, Craig.
15 Jeff, did you want to—I know you just did you
16 presentation with the previous panel. I just wanted to
17 check in with you and see if you had anything you wanted
18 to—

19 MR. BERKHEIMER: When we spoke, we didn't
20 realize that we were doing both presentations so we
21 don't have anything to say except SMUD is doing
22 fascinating things and you all would be very impressed.

23 [LAUGHTER.]

24 MS. MACDONALD: Well, I do know that SMUD
25 frequently participates in a lot of our workshops. And

1 they do have a very active smart grid development
2 program and that through my own coordination with your
3 governmental affairs representative Tim Tutt, I do
4 understand that you are providing comments. And then
5 I'd just like to note in regards to Riverside and Steven
6 Badget, still on topic of smart grid, they do have over
7 100,000 electric customers and he did provide me with a
8 copy of his deployment plans and what they're looking at
9 doing. I will just add that he did comment in his email
10 that all improvements and investments they were looking
11 to do were not rate based. And with that, Anthony, do
12 you have anything? Okay. Questions. Do you have any
13 questions to share?

14 CHAIRMAN WEISENMILLER: Yes. I'd actually
15 like to do a follow-up on one suggestion. And that is,
16 it was certainly good to pull people together today as
17 we can discuss these issues and everyone's experience.
18 I guess one of the things to think about going forward,
19 again, certainly if we could provide forums for people
20 who might find them useful. I know the PUC has Rule 21
21 that's very focused on the IOU part of the equation but
22 certainly if we could help facilitate conversation among
23 the POUs and the POUs and the IOUs. We'd certainly be
24 happy to do that. So something to think about ways we
25 can help.

1 MS. MACDONALD: Do we have any questions from
2 the audience? Frances?

3 MS. CLEVELAND: Frances Cleveland from Xanthus
4 Consulting. I guess one thing I'd be interested in is
5 if the smaller utilities, well DWP as well, would be
6 interested in these inverter functions presuming that
7 the vendors are able to offer them? Would that be
8 something that you would see in your future?

9 MR. DENNIS: I like the characterizations that
10 you gave for the small, medium and large and I believe
11 that there is a small level that does meet that but
12 obviously that comes with the cost so that would
13 certainly be the determining factor. But I do like your
14 breakdown of what you've proposed there and the
15 attributes.

16 MR. KUENNEN: I would say yes. Like I
17 mentioned, we do have the communication infrastructure
18 in place. We will have the computer systems to work
19 with that kind of equipment. I mean we're not that
20 large but we could have 8-10 megawatts of PV and the
21 next opportunity here in Glendale.

22 MR. BERKHEIMER: Actually, one comment I'll
23 make on the software requirements and the inverter
24 requirements is one of the things that we're starting to
25 see is as we're actually building these demonstration

1 projects is not necessarily that the inverter or
2 communication functionality isn't what we would like it
3 to but that the issues around cyber security and the
4 communication protocols there, especially as the devices
5 are going to be receiving real time signals out of your
6 data already in that system, is a lot more complicated
7 and complex than we originally anticipated in talking
8 with the vendors. Especially manufacturers of the
9 inverters and anyone who has onsite hosting for a
10 utility dashboard or an operator dashboard. These
11 aren't requirements that are sort of front and center
12 and being dealt with in the industry yet so
13 communications is easy. Anyone can plug in a phone line
14 but if the media that you're transmitting is secure
15 information from an ENS or SCADA system it's not as easy
16 as plug and play. And if the industry could start
17 looking at putting themselves in the utilities
18 perspectives and saying this device is going to be
19 plugged in and we know there's going to be all of these
20 very strict cyber security requirements, building a
21 protocol around that front.

22 MS. CLEVELAND: Okay. Thank you for that. On
23 the cyber security, honestly that's one of the areas
24 that definitely needs to be worked on.

25 MS. MACDONALD: Thank you, everyone. Next we

1 have Timothy O'Connor from the Environmental Defense
2 Fund. He's here to present about their work on smart
3 grid.

4 MR. O'CONNOR: Good afternoon, Chair
5 Weisenmiller and distinguished audience. My name is Tim
6 O'Connor. Thanks for sticking around until my
7 presentation, I really appreciate everybody waiting to
8 hear this delivery.

9 We've been working for awhile on looking at
10 evaluations for the utility smart grid deployment plans
11 that are going to be coming to the PUC in the next
12 month. I think we've already sort of seen and started
13 to read the first one from San Diego and we're starting
14 to see reverberations associated with that. News
15 clippings, people starting to take interest from the
16 general public and the environmental communities, folks
17 who are sort of nontraditional utility hawks are sort of
18 stepping in and saying they're going to be spending
19 billions of dollars in my service territory on new
20 technology, I'd like to see how that could help me and
21 what it is. How it could help me as a consumer. How it
22 could help the environment. What it's going to mean?
23 Also, we're going to be looking at the same sort of
24 deployments happening in PG&E's and Southern
25 California's service territory. I think we've seen that

1 the public hasn't necessarily been entirely accepting of
2 new technology as it's deployed at their house or in
3 their neighborhood or at their utility.

4 So EDF wants to make sure of a couple things.
5 One that the utilities knew that were were members of
6 the environmental community, the public that was
7 advocating on the behalf of the consumers, looking at
8 these plans and rigorously evaluating them to see if
9 they were going to make the grade.

10 We have the utmost expectation that the
11 utilities want to make the grade. They want to perform
12 well. They want to spend ratepayer dollars in a way
13 that's going to deliver benefits to the consumers, to
14 the environment, to a number of different interests and
15 so it is remarkably difficult when you think of maybe
16 we're going to be getting three different plans over the
17 course of the next month. They're all going to be
18 written by different authors and some sections of each
19 plan will be written by different authors and different
20 endpoints and different ways to characterize things and
21 some including some things and some including other
22 things and so how do we compare one utility to another
23 utility to a standard. To a regulation. And so that's
24 why EDF developed a tool to help do that and we're going
25 to talk about that in a moment.

1 But first, who are we? What do we matter?
2 We're a national environmental group. We have about 350
3 employees who have been working on issues in energy and
4 the environment for a number of years. We worked on
5 SB17. We weren't an original sponsor. We have been
6 active at the PUC and the smart grid rulemaking process
7 for awhile, since the original decision came out. In
8 fact, some of our recommendations were incorporated
9 directly into the decision. Most notably the ones on
10 the environment and consumers and platforms for
11 technologies and certain services to grow. We're very
12 appreciative of that sort of incorporation and we've
13 been really kind of working on scaling up out
14 participation in smart grid across the country in this
15 thread.

16 So the reason why we're doing this is that
17 it's a GHG reduction strategy. It's a consumer
18 opportunity. It's an economic opportunity. And I have
19 slides in my presentation that we probably won't go
20 into here, they're at the end, so if anybody want to
21 know why we believe that we can get 30 percent cuts in
22 air and climate pollution or why we think we can get 25
23 percent cuts in on road transporter emissions that's
24 included in the presentation.

25 It is important to note that the 25 percent

1 number is just from fuel switching. Just from taking
2 cars off the road and plugging them in. We're looking
3 at the energy storage component to that and what that
4 could still take. It's even a larger number.

5 The point of this panel today and today
6 really, just in general, is looking at distributed
7 generation throughout the grid. I have some high-level
8 points that'll kind of get into of why we think and how
9 we think utility deployment plans can be evaluated so
10 that they can be delivered on this goal as well as a
11 number of other goals.

12 We'll start with some examples. I realize
13 that it's a lot of words and a lot of words on a screen
14 for somebody sitting far away and hard for them to
15 figure out. Some of this stuff has already been talked
16 about today. Electric energy storage has the ability to
17 facilities more distributed generation. We're looking
18 at when solar power is at its peak and when demand is at
19 its peak, we know that they don't necessarily match up
20 if we can switch or at least move one to two hours of
21 the generation from solar DG to what it's needed as the
22 most we can start to facilitate more.

23 And I do think that one of the things that
24 we've heard today is that you can have too much DG.
25 Well, yeah, I think that's probably correct if we're

1 going to be talking about impacts on the distribution
2 system. But let's say that we have enough DG that we're
3 able to take off a peaking power plant. Well all of a
4 sudden it's not too much DG, is it? We really get some
5 environmental benefits out of that and we need to be
6 thinking about how we can reconfigure our system and how
7 we can use a smart grid on the long-term and start to
8 get some real environmental impacts. We think that the
9 smart grid, when combined with a lot of the technologies
10 that it'll come out with, can really lead to some
11 dramatic environmental improvements.

12 And we're going to get into, in a minute or
13 two, how we can measure that progress and that's really
14 the high level point of my talk today. But really sort
15 of looking here at the examples of demand side
16 management and looking at demand response and having
17 people being able to tap into response and demand side
18 resources to change the fluctuations of the demand curve
19 to then also respond to fluctuations in the distributed
20 generation so that we can more easily balance our grid.
21 Also, filing on electric vehicles as mini storage
22 devices as opportunities to switch from emissions of
23 combustible fossil fuels to—in the cars themselves to
24 electric energy use and then the ability to act as
25 localized storage for distributed generation that's

1 occurring at houses.

2 So what's the high-level observation here.
3 Smart grid deployment can deliver, in our opinion,
4 significant amounts of distributed generation more so
5 than there is not. And more so than we thought is
6 possible and probably more than we think is possible
7 today.

8 And then, finally, a full scale effort to
9 deploy the smart grid really is necessary in California.
10 We've seen that from the utility deployment plans.
11 We've seen that from the PUC who said they were
12 envisioning on how to write the requirements for those
13 deployment plants. And we've seen that really written
14 into the decision on how those deployment plans should
15 be written.

16 And so by adhering to that decision we think
17 that the utility plans can create the opportunity for
18 more DG to participate on par with other traditional
19 investments. And when I say 'on par' I mean that it can
20 become cheaper, it becomes first in line at the loading
21 order, more readily we can start to see more cost
22 effective pursuits than we have today.

23 Here's the quick portion from the actual
24 decision that the PUC came out with. And in there,
25 obviously, you can see that there are two words that are

1 underlined and that's distributed generation. And so
2 all this and some of the documents in my presentation go
3 in the thread that we believe the PUC is saying that the
4 IOUs in California need to pursue distributed
5 generation, it must be part of their plan, there must be
6 a comprehensive effort to deploy it as much as we can in
7 a way that can maximize the environmental integrity or
8 the environmental impact of the grid, the overall long-
9 term abilities in the grid and there are a number of
10 references to both the DG to localize generation
11 throughout the PUC decision.

12 What we decided to do was create a mechanism
13 to evaluate whether utility plans were living up to what
14 we feel is a requirement by the PUC. So we came out
15 with a couple of different goals; actually four of them
16 to empower consumers, to create a platform for
17 innovative technology and services, enable the sale
18 demand resources, improve the environmental performance
19 at that greatest level.

20 These are EDF goals. These goals track very,
21 very closely to what the PUC said to require. PUC had
22 11 different goals the utilities have to file. We
23 really chose to focus in on four. The way we did that
24 was by creating a points based metric and so at the end
25 of this month and at the beginning of July, we're going

1 to be coming out with scores for the utility deployment
2 plants as to how we feel that they fare. What is their
3 grade, compared to one another how are they making the
4 grade and across different goals and throughout
5 different sections.

6 These plans need to have a vision. They need
7 to have a strategy. They need to have metrics that
8 they're tracking their progress along the way. They
9 need to understand where they are now and also
10 understand the roadmap of understanding where they want
11 to go. All of this is included in our document as to
12 how to evaluate utility plans. But it's not just about
13 getting a score, it's about identifying where utilities
14 are able to go and do better. Where they've gone above
15 and beyond. If they've created a comprehensive
16 assessment of their deployment plan in a way that will
17 allow us to understand if they're likely to achieve the
18 benefits that are possible.

19 So if you look at the individuals section, and
20 as we pulled out through the PUC decisions and as we
21 look at all of the literature on the subject, we find
22 there are certain aspects within each of these goals
23 that facilitate or are related to more distributed
24 generation. For example, in the goal of empowering
25 consumers. These aspects, we feel that if they were

1 truly subscribed to by utilities, they would lead to
2 more distributed generation. And when I say truly
3 subscribe to I just mean we have a vision about having
4 more electric vehicles in our service territory. Or
5 allowing more consumer technology in our service
6 territory but a real integrated approach to getting more
7 and comprehensive technology on the system.

8 How do we know if we're achieving these goals.
9 Well, it's embedded in metrics. It's embedded in
10 utilities tracking their progress toward certain
11 aspects. So we're going to get into some of our
12 suggested and the metrics of the utilities that are
13 already agreed to in terms of tracking some of these
14 things. But maybe what we'll do is kind of go through
15 some of these goals, look at where said there's real
16 opportunity here and then we'll finish up.

17 So, for example, we know that there's a goal
18 and that it's a goal that's required by the Public
19 Utility Commission that says "Utilities have to create a
20 platform for technologies and services." They have to
21 create a market for new technologies to thrive, for new
22 business models to thrive. And so interoperability is
23 one of those ways that we have identified as being a
24 valuable approach to doing that.

25 And so we would describe interoperability as

1 an open architecture that allows for the incorporation
2 of the evolving technologies on both the supply side and
3 the demand side of the meter. And so utilities have
4 agreed, and we would think that all utilities should
5 agree to these metrics and not just the ones in-not just
6 the publicly owned ones, to report the distributed
7 generation capacity and the distributed energy delivery
8 to the system. So, for example, utilities have already
9 agreed to in that framework to report on the number of
10 the total capacity of customer owned or operated, grid
11 connected, distributed energy generation facilities. So
12 I would ask whether the smaller scale guys, when they
13 say "We're committed to more DG" whether they're
14 tracking this and whether they're reporting this to the
15 people who are in their service territories. Whether
16 there's a buy in to watching the growth of DG deployment
17 and tracking and supporting it. And in plans and in
18 decision making, understand that if there is a roadmap
19 and a goal and a traction toward that goal, that there
20 is going to be some sort of evaluation of whether either
21 that goal is met or whether there is way to get more
22 information or change the system so that we can have
23 further progress toward that goal. Total energy
24 delivery is yet another way to do that.

25 In the goal of demand side sales, the

1 definition that I would come out with of new commercial
2 markets is that utility's deployment plans should allow
3 for the growth of energy markets for aggregated small
4 scale aggregated generation resources. This is
5 something that the EDF has suggested, not necessarily
6 something that the utilities have subscribed to, but a
7 utility plan that is fully subscribing to the idea that
8 distributed generation is important and something they
9 want to pursue, it's something that we feel should be
10 included in any utility smart grid deployment plan.

11 So what is a good metric for something like
12 this? Well, reporting on the total annual electricity
13 delivery from customer owned and operated grid connected
14 energy facilities is one way to do it. Having the
15 utility allow for people to access progress or
16 historical trend data on this information could be
17 tremendously important.

18 Finally, on the goal of environmental benefits
19 I think that in the environmental community there is
20 general agreement that distributed renewable energy
21 generation is a good thing. That is leads to reduced
22 greenhouse gas emission. More renewable energy on the
23 grid as a whole is a good thing. In the reporting on
24 the greenhouse gas intensity, both in CO2 and CO2
25 equivalent emissions, on a utility wide basis, it's

1 something that a utility should do. Just aggregating
2 the types of generation that utilities are receiving
3 into fossil generation, renewable generation, and other
4 sorts of energy imports or whatever—however they’re
5 receiving—those sorts of metrics can help facilitate
6 larger scale distributed generation and can lead to a
7 mutual reinforcing effort. And as we’re reporting the
8 amount of GHG reductions we have that are coming from
9 our electricity generation. And as we’re reporting how
10 much distributed generation we have and people start
11 seeing, as the consumers start seeing, the linkage we
12 can start creating more of a interconnection between the
13 utility, between the customers and between the people
14 that are supporting smart grid deployment or have not
15 yet begun to support smart grid deployment as they
16 likely should.

17 So finally we have been working on a number of
18 aspects outside of California as well. It’s important
19 to note that these plans have started of course
20 receiving attention outside of our borders. People in
21 other jurisdictions are looking, obviously, at what
22 California is doing. Not only is the PUC work being
23 looked at by other regulatory bodies but areas in, such
24 as Charlotte or in Chicago or Austin, having active
25 deployments but it’s really only the tip of the iceberg.

1 And obviously what we're doing here in California, as
2 we're maximizing those, we're getting more and more
3 distributed generation on the grid. As we're tracking
4 things such as environmental performance and we're
5 reporting them to the people who are paying for it,
6 ratepayers, and getting people in support of continued
7 deployment of smart grid as it achieves more
8 environmental performance that's only a good thing. And
9 if we could mirror that, that would be quite an
10 accomplishment. So thank you.

11 CHAIRMAN WEISENMILLER: Thank Tim for your
12 participation. We certainly had the opportunity ages
13 ago to have the opportunity to work with Tom, David and
14 Zach and certainly major, major contributions in
15 California's energy policy from EDF.

16 MR. O'CONNOR: Thank you very much,

17 MS. KELLY: Any questions? Audience? Okay.

18 All right. Then we'll move along. The next
19 presentation is on How Research Development and
20 Demonstration can Help Advance Distributed Generation.
21 Mike Gravely who is the Energy System Research Office,
22 Office Manager will start off and be followed by Dr.
23 Alexandra von Meier, which we know her as Sasha, and she
24 will follow up after Mike. I do want to say that there
25 are still 70 people on the internet to take part.

1 MR. GRAVELY: Thank you all for sticking
2 around. So I just wanted to cover a brief review of the
3 activities we have in the research area both ongoing as
4 well as future research in this area.

5 The general focus is research that would help
6 advanced distributed generation, research focused on
7 distribution systems and research focused on how the
8 distribution transmission system works together and how
9 this research can help mitigate problems of the future.

10 PIER Program, for those who aren't familiar,
11 we do research for the whole sector, it's also research
12 on generation, but my office works on transmission
13 distribution integration of the systems through all of
14 those customer side of the meter. So it's basically
15 looking at how we integrate all of these together, how
16 the smart grid will work, how transmission distribution
17 systems will work and so we are very actively involved
18 in the distribution research and development.

19 For those that aren't familiar, this is an
20 IEPR Hearing Report from 2007 and certainly Linda is
21 very familiar with this chapter because she wrote it.
22 We had a major chapter on distribution and there was
23 some changes that were coming because four years ago we
24 noticed the fact that the distribution system needed to
25 change, it had to go from a one way to a two way system.

1 It had to adjust to a lot of system problems. It had to
2 be able to adapt to different loads. So as a result of
3 that, we started a pretty substantial distribution level
4 research program to go along with that. Many of the
5 issues that came up today were also addressed in that
6 chapter as some of the problems we had perceived coming
7 at the future from there. The other things that comes a
8 lot is that we hear about the renewables. Of course,
9 today's discussion is on the 12,000 megawatts of
10 distribution. There's 8,000 megawatts of transmission
11 renewables. This is a chart that shows pretty
12 effectively, it's a DOE chart, but it shows pretty
13 effectively how renewables wind, in particular, effects
14 the stability of generation and you can see in the upper
15 left and lower right how systems that like to run nice
16 and steady will be required to run at a very erratic
17 mode without alternatives. And, of course, our research
18 has been focusing on the alternatives that can make that
19 bottom right look more like the upper left.

20 And also solar has very large ramping rates
21 both when it comes on in the morning and whether you do
22 it distributed or whether you do it centralized you have
23 similar problems. So even if we do put in 12,000
24 megawatts of distributed solar this performance
25 characteristics will then be distributed out through

1 many networks and many of those may not have the
2 stability and the ability to handle this without
3 challenges.

4 In general the research efforts we do are
5 focused in three areas. One is that we look at the
6 actual components. For example, in the distribution area
7 one of the things that came out of the IEPR 2007 was the
8 extension of the number of underground cables we have in
9 California and so we've done a considerable amount of
10 research. The problem with underground cables is you
11 don't know if it's ready to fail, if it's going to work
12 another 20 years however without a look so a lot of
13 these systems were being replaced. We were asked by the
14 utilities to do some research and see if we can come up
15 with some ways of testing the cables so that if the
16 cable is 30 years old we could see if it would last 20
17 more years and then we can do something about that. As
18 opposed to replacing it and finding out once we pulled
19 it up, there's nothing wrong with it but the one next to
20 it may be ready to fail in six months.

21 So we have been doing some research. We're in
22 a test phase and have come up with some creative ideas
23 on how to test the cables and we've been able to do
24 that. And like I said before there are projects out
25 there now being tested by the laboratories.

1 So we do this across the spectrum of looking
2 at components. Obviously the big issue has become
3 integration. We've been looking at integration from the
4 system level via the commercial buildings via the
5 microgrid and the residential home. And then we've also
6 looked at it from the smart grid, which we've talked a
7 lot about today with the whole distribution systems and
8 also the transmission system together. So you talk
9 about a utility level or multi-utility level and look at
10 all the issues that will address that.

11 Some specific projects of interest to this
12 area today, and we also have---PIER program has an
13 advisory committee that is chaired by Chairman
14 Weisenmiller and one of the topics—we just had a large
15 meeting in March and one of the discussion points in
16 there when we asked about what their primary issues
17 were, they were very clear to them now that distribution
18 was a bigger and higher priority than it had been in the
19 past and so as a result of that we've adjusted our
20 research funding profiles and we've begun to address
21 more issues. You'll hear a little more about that. The
22 program with Sasha. We'll talk about how it's very
23 relevant. It is PIER funded but she'll talk about it
24 specifically and you'll see how it ties to how some of
25 the issues have been directly addressed today.

1 Demand response energy storage and those types
2 of things. Forecasting. We're starting to do those
3 with the utilities and with the ISO to help in that
4 area.

5 Vehicle integration. Electric vehicle
6 integration into the grid has become—as well as PV and
7 these have become a big issue so we're looking at
8 different ways to do that. There's quite a bit of
9 research ongoing in those areas.

10 For those that are familiar, California was
11 successful, not as successful as we wanted to be, but
12 pretty successful obtaining quite a few of the American
13 Recovery Reinvestment Act. Of those, there are quite a
14 few projects in here that are storage related,
15 distributed related, meter related. So one of our
16 challenges is to learn from all these systems and see if
17 we can go advance it. Some of these are more close to
18 commercial, some are more in developmental. And so
19 we're going to be using this information to take the
20 next step forward over the next two years as most of
21 these projects will complete the bulk of their work.

22 The two areas where we have seen a lot of
23 attention, and whether it's distribution or
24 transmission, it's the same and that is the use of
25 energy storage to address some of the mitigation of the

1 renewables. And also the ability of using demand
2 response. The Commission has about an 80 year history
3 of working with demand response and a five year history
4 of automation of that response. So what happens,
5 surprisingly enough, we looked into this. It was
6 originally planned for peak load reduction but when you
7 automate systems we can get the system response in 30-40
8 seconds and it can last for 30 minutes or so, it begins
9 to look a lot like a profile of energy storage. The
10 interesting part of this is it's about 10 percent of the
11 costs for energy storage so we're doing quite a bit of
12 work, as you'll see, in trying to mirror energy storage
13 and demand response together for a unified process. The
14 reason for that was that it could potentially drop the
15 cost of mitigating intermittent renewables anywhere from
16 30-50 percent over what it would be if you went with the
17 more high cost option.

18 We've also done research in specifically
19 using, in this case, in using electric home air
20 conditioning units for ancillary services. We've now
21 looked at the industrial side as well as the commercial
22 side. But we've been doing research for several years
23 on how we can take demand response, interface with the
24 ISO and make that a service other than peak demand
25 reduction. Make it a service on call for responding to

1 variations on the grid.

2 Looking at the future. We also have an
3 advisory board that met yesterday. Smart grid
4 infrastructure advisory group. We met with them and
5 talked about different plans for the future to get some
6 feedback from them. Again, distribution came out as
7 being a top priority for efforts to do and this kind of
8 gives you an idea of research efforts that we're working
9 together with on the other PIER teams and we'll prepare
10 an actual budget proposal for our research and
11 development committee for later this year. But what
12 we're trying to do now is line up the research funding
13 within the top priorities within the state.

14 One area where we had a huge success and
15 Merwin Brown is here, he's been involved from the very
16 beginning of this, the synchrophasors. If you're not
17 familiar with that term, it's a high-speed data
18 collection system that's used for transmission systems.
19 It goes from what we have today, which collects data
20 every four seconds, to something that collects something
21 30 times a second. We had an ISO representative
22 yesterday at our meeting, while they were at a meeting
23 in Canada, pointed out that synchrophasors are now being
24 deployed throughout the whole country. California is
25 recognized as the innovative leader of this technology

1 and PIER was founding source for this technology to be
2 so far along. The DOE is putting over \$100 million in
3 deploying these systems throughout the country. The
4 western U.S. is one of the big ones. The big deal of
5 the ISO is that they can see things on the grid before
6 it happens. It can prevent outages. It can prevent
7 disruptions. They have a much better feedback system
8 for the information so they can get the information and
9 respond before our problem occurs. When they go with
10 four second data the problem has already occurred
11 sometime before they even knew it happened.

12 What's going to happen now in our future
13 programs is that they're going to be looking at using
14 this kind of data at the distribution level. As we get
15 more and more instability on distribution level, then
16 you have this type of technology that allows you to
17 manage the distribution system better.

18 We mentioned before that we have quite a big
19 effort of getting together energy storage, as I
20 mentioned, we have this Assembly Bill 2514, we have in
21 our case more than 10 projects right now that are energy
22 storage related that are funded through ARRA and so we
23 feel quite a bit of activity. The key is to leverage
24 all of that and come out with the best solution for
25 California. One of the things that we're looking at for

1 both storage and our DR is to look at what we estimate
2 the need in 2020 will be to meet the RPS. We have a new
3 effort starting with Lawrence Livermore where we're
4 using high performance computing to help us estimate the
5 model of the grid and come up with some projects that we
6 hope will give us some better insight and what kind of
7 variation we can expect.

8 That was pretty quick but I think we're real
9 behind so I was trying do that fast. I'll answer any
10 questions I can, first, and then I'll introduce Sasha
11 for the second presentation. Questions for me from
12 anybody? Yes, sir?

13 CHAIRMAN WEISENMILLER: That's good, Mike.
14 Thank you.

15 MR. GRAVELY: Thank you. Okay. So Sasha has
16 done a project for us in the distribution area which we
17 think is very relevant to today's discussion. It is
18 PIER funded so she'll be able to answer any questions
19 that you might have.

20 MS. MEIER: Thank you, Mike. I don't know if
21 I can speak as fast as you do. I'll try. So I will
22 tell you about an initiative to study the distribution
23 systems to facilitate the integration of higher levels
24 of distributed generation. It's also relevant to the
25 increasing presence of electric vehicles.

1 I would like to start by really presenting a
2 bit of a comparison and contrast between transmission
3 and distribution which I'm hoping is conceptually
4 helpful. As Mike said, one of the really successful
5 PIER funded research programs involved synchrophasors
6 whose purpose is to give grid operators a real
7 visibility and diagnostic tool of what is happening on
8 the system. And you might ask the question what is the
9 analog of improving visibility at the distribution
10 system level.

11 Distribution systems are laid out differently,
12 for the most part, than transmission so you see at the
13 lower voltage levels mostly the systems are laid out in
14 a radial manner. There is great diversity in how these
15 circuits are designed. Many different attributes that
16 vary. There's also time variation and what happens is
17 that loads on the feeders and balancers that are
18 relevant, they're vulnerable to external disturbances.
19 But yet they're also largely opaque to the operators
20 responsible for them.

21 This is a list, that I don't have to go
22 through, but just to give you a sense of there really is
23 a large number of attributes that distinguish different
24 distribution circuits and they vary not just among
25 utilities but within the given utility's service

1 territory. There's going to be different generation of
2 technology, some outfitted with new SCADA equipment for
3 instance and some older. And a great range of technical
4 variables that will of course affect how easy it is or
5 how beneficial it is the integration of a lot of the
6 distribution generation might be.

7 I liked this cartoon which is if you talked to
8 distribution operators, you know, they'll tell you that
9 their job is to expect the unexpected and at the
10 distribution level, more so than transmission, that you
11 just don't know what's going to be next. This is Andy
12 at one of the more rural jurisdiction. He's a
13 distribution operator. Just to give you a sense of a
14 lot of the technology people are working with today is
15 really still analog technology. It's not quite the
16 bells and distinction as it's a few years old but it's
17 not quite the bells and whistles you see at Cal ISO for
18 instance but we're talking about telephones and sending
19 a guy out in a truck to operate, manually in many
20 instances, some of the switches or equipment. And this
21 wall map that shows all of the circuits and I hear
22 chuckles and you might think that this is so retro but
23 they're actually really good reason for this kind of
24 robust analog technology. For one thing, you know that
25 you're dealing with the most updated version of the map.

1 And it's a very rich layered texture of information
2 about the peculiarities of individual circuits. The
3 point being that these systems are really data rich and
4 there's a lot of variation that's hard to capture in a
5 generic model. So you have information like if you send
6 a guy out in a truck to open or close the switch you
7 better send two guys. I always like to say well one
8 woman might be able to operate the switch.

9 [LAUGHTER.]

10 So this richness of data, the variability and
11 vulnerability make it very important to get detailed
12 information about what is happening on individual
13 distribution circuits. But we don't have the technology
14 in place to see what's going on.

15 With respect to integration of distributed
16 generation, what would utilities like to see. Well,
17 they would like to have data about voltage, about power
18 flow, power quality measurements. Of course, in a
19 perfect world, we'd have crystal balls that would tell
20 us not just what the sun is going to do in the next
21 minute and second but what the customers are going to do
22 in the next minutes and hours and years. And we'd like
23 to have good, predictive models and models that usefully
24 aggregate individual data.

25 The first item here is really the foundation

1 for everything else which is to get physical data in
2 real measurements. What you have on the majority of
3 distribution circuits to date is SCADA systems but
4 they're not on the 100 percent of the circuits that may
5 give you voltage and power data but not really
6 throughout the entire length of the feeder. Usually at
7 the substation level. You might have individual pieces
8 of equipment that are instrumented but again not all of
9 the points along distribution circuits that might be
10 relevant. Capacitor banks might give you a reading. In
11 the automatic metering infrastructure, the smart meters,
12 might be enabled to give you—to give operators data
13 about voltage for instance but that functionality isn't
14 always in place yet.

15 So additional sensing modeling is needed to
16 evaluate and anticipate the impacts of the distributed
17 generation on different kinds of distribution feeders
18 and the question is where do you start and how do you do
19 this in a cost effective and reasonable way? So for
20 instance we would like to know what resolution and time
21 and space do we really need to have measurements. It's
22 not entirely obvious.

23 There's talk about using synchrophasors PMU,
24 phasor measurement unit, at the distribution level.
25 That might not be for the purposes of measuring voltage

1 angles but it might just be for the time revolution of
2 having 30 measurements per second for instance. It's
3 not clear that you need that kind of resolution
4 everywhere but we probably need to start with getting
5 some high resolution data so that we then know how to
6 scale back so we don't miss anything interesting.

7 Also, you've heard for instance mention of
8 having telemetry on photovoltaic installations. We'd
9 like to know well, ok at what level would that be really
10 beneficial. Of course, the flip side of that is that
11 you don't want to inundate operators with excessive
12 data. So the advisory committees to the PIER research
13 program have really produced, I think, a consensus that
14 some of the major challenges do reside at the
15 distribution level. That we do need increased monitoring
16 and characterization of the distribution systems. And,
17 as you also heard today, there's an impressive array of
18 work already going on among the investor owned utilities
19 and the POUs doing really careful studies of the impasse
20 of distributed generation to date. There's also a sense
21 that a collaborative coordinated effort would be really
22 useful so that we can get data that is compatible and
23 complementary and we can get a coherent big picture and
24 a real systematic understanding of the great variety of
25 the distribution systems that we have in our state.

1 So for that kind of comprehensive standard our
2 initiative is really looking at starting from the
3 characterization of some sample feeders and assessing
4 the impact locally of distributed generation to then
5 find a way to share that information and analyze the
6 data in a coordinated way to inform then the next step
7 better models of different kind of distribution feeders.
8 Perhaps there's a way to develop a typology of different
9 feeder characteristics that's meaningful rather than
10 having to do a one off analysis for every single one but
11 also as you heard today one single connection standard,
12 for instance, or percent penetration cap might not be
13 the most reasonable way to direct the use of DG on
14 different kind of DG feeders since they're so different.
15 So we need to understand that better, what the impacts
16 are and then see where do we most intelligently direct
17 the efforts to do more sensing and monitoring and how do
18 we, next step, tell the inverters what to do. We've
19 heard that the technological capabilities are there but
20 we, at this point, need to learn more about the
21 distribution system so that we know what to ask of the
22 DG technology.

23 Where I see—and I think the role of peer
24 research is really important here as a coordinating
25 function to bring together the common ground to make the

1 collaboration among the individual utilities that have
2 done specific technical work. But we want to have a
3 coordinated effort so that people can learn from each
4 other and don't reinvest the wheel. And that we really
5 accelerate the learning process. So I'm going to skip
6 through this as you have the handout but where we're at
7 right now is forming a working group with technical
8 experts from the different utilities to really hammer
9 out the nuts and bolts of how do we, most intelligently,
10 get the data together and have an efficient mechanism
11 for collecting and evaluating these data.

12 Where we want to get to is clearly safe and
13 reliable operation of distribution systems with
14 increasing DG and also electric vehicles and, as was
15 said earlier, it's not just a matter of tolerating the
16 DG but really using those assets to the system's
17 advantage.

18 Transmission operators, Cal ISO would also
19 like to know a bit about what's happening behind the
20 substation as the percentage of the renewable generation
21 increases and that's a little harder to predict as it's
22 distributed. It becomes important for Cal ISO to see
23 behind the substation.

24 So briefly, being able to tell inverters what
25 we'd like them to do so they can be of the most use to

1 the system. And then finally knowing where the most
2 important places are to upgrade distribution
3 infrastructure because, clearly, you're not going to
4 take down this whole--these assets and replace them
5 tomorrow. We want and need to go step-by-step in a
6 sensible manner to enable the most effective of both
7 penetration of the distributed resources of where they
8 make sense so it's a matter of finding the right places,
9 the most beneficial places for sighting them but then
10 also diagnosing where the issues really are to target
11 the upgrades and the increased sensing monitoring. All
12 of this starts with getting the data and seeing what's
13 going on.

14 I would like to just finish on a personal
15 note. As a graduate student I stated to take courses in
16 electrical engineering because of my personal conviction
17 that our country needed to go to 100 percent renewable
18 energy and I realized that the biggest hurdle for that
19 was probably in the electric power infrastructure which
20 is why I began to study that.

21 I think as advocates of renewable energy we
22 mustn't kid ourselves to say that this is going to be
23 easy. I think these are some really difficult problems
24 but they are also exciting problems. And I think
25 they're solvable as we've heard today. So it's matter

1 of smart people working together and I've been very
2 impressed by what I've heard today and it makes me very
3 hopeful. So thank you.

4 MR. VILLARREAL: So I don't have so much as a
5 question but I'm going to make a statement. I actually
6 have to leave at 4 so I'm going to make two additional
7 statements if that's okay with the Chairman.

8 CHAIRMAN WEISENMILLER: Sure.

9 MR. VILLARREAL: Thank you for the
10 presentation. A lot of what I've heard throughout the
11 day is about how do we collect information, how do we
12 know what's going on. One of the things that I failed
13 to mention, because it didn't seem important at the
14 time, was that there's a clamor for doing metrics and
15 the PUC is in the process of finalizing a decision to
16 outline how the utilities are going to start collecting
17 and reporting exactly the things that were being
18 discussed. And the requirement right now is to have the
19 metrics be recorded annually starting in 2012. One of
20 the things will be a continuous process on how to
21 update, evaluate, revise and edit metrics as we go
22 forward and as we get more and more information on
23 distribution, what other information can we start
24 measuring. What other information do we want to start
25 measuring? And how do we do that in a cohesive manner

1 much the same way that was just discussed?

2 So the PUC is a bit on the smarter side and
3 much more aware of these issues and is very much
4 supportive of continuing to collect information that
5 will help support future planning for the grid.

6 The second thing that I wanted to point out is
7 that I wanted to support a statement made by SMUD
8 earlier on. Don't forget cyber security. As we've gone
9 through in developing policies, cyber security keeps
10 coming up over, and over, and over again. As I'm sure
11 Frances can attest to when FERC had their hearing
12 earlier this year on the first five families of
13 standards, 61850, amongst others, was hammered for not
14 having an adequate cyber security review. So as we're
15 talking about standards, don't forget that cyber
16 security will still how up—and come out of nowhere that
17 there is a clause somewhere in the standard on cyber
18 security.

19 And the third thing that I just wanted to
20 briefly discuss was that we have an ongoing storage OIR
21 and we're having a second workshop next Tuesday. So as
22 a lot of the storage discussions are held here we also
23 are having an OIR going on at the Commission. One of
24 the things that is going to become difficult, but very
25 important, is how do we value all of these benefits that

1 solar provides. Those are the facilitating distributed
2 generation, firming up the intermittent renewables and
3 other grid aspects that we're expecting in the future.
4 How do we help support all of those to make storage more
5 cost effective? So these are our questions that we're
6 going to be addressing in the OIR over the next-over the
7 coming years. So I just wanted to say thank you for
8 letting me speak up today.

9 CHAIRMAN WEISENMILLER: Sure. Thank you for
10 your participation today. I think some of these were
11 challenging issues that the two Commissions are trying
12 to grapple with. I tend to be worried too that the
13 cyber security is, whatever the right metaphor is in
14 terms of the—we can't have a repeat of the smart meter—
15 the PG&E smart meter debacle at least and cyber security
16 could be one of the areas that could blow up in us in
17 that sense.

18 MR. VILLARREAL: And we're very aware that in
19 San Bruno the safety aspect of cyber security is also
20 very relevant.

21 CHAIRMAN WEISENMILLER: So again, thanks for
22 being here.

23 MR. VILLARREAL: Thanks.

24 MS. CLEVELAND: Actually, this is not so much
25 a question for Sasha but she may answer this as well.

1 But this is related to the cyber security issue, there
2 is a DOE funded NIST project that is—well it's being run
3 by Energy SEC and EPRI is also doing some of the
4 technology. I'm wondering is there any way that there
5 can be involvement by the CEC, a lot of the utilities
6 are involved, but involvement by the CEC with respect to
7 trying to handle the cyber security issues? It's an
8 open question.

9 CHAIRMAN WEISENMILLER: It's an open question
10 and certainly one of the things that we have to grapple
11 with on some level. We tend to be more involved on the
12 R&D area here. The PUC is more involved in the
13 implementation. Actually the ISO may be more involved
14 in the operations of trying to figure out the best way
15 of this combination. But, again, trying to work in a
16 complimentary fashion.

17 MR. GRAVELY: So I wanted to point out that we
18 do have a Smart Grid Center that we work with at Sac
19 State and there's a specific element there on cyber
20 security who has been working with us and been following
21 the PUC rulings and helping us provide information and
22 helping us update the Commission on where we are. So it
23 is an issue that often comes up. It is an issue that we
24 are following from the research center and helping to
25 get information for the policy side. But we're very

1 actively involved with the PUC efforts and we are
2 tapping the expertise that we don't have in-house that
3 we are suing from the Smart Grid Center specifically for
4 cyber security.

5 MS. KELLY: Thank you, Sasha. Our next
6 presenter is Craig Lewis. He is from the California
7 Clean Coalition. Craig and the-the Clean Coalition used
8 to be called the FIT, the feed-in tariff, no coalition
9 there. But whether it's the FIT or the Clean Coalition,
10 one thing is for sure that they at every interconnection
11 meeting that I've been at, going over weeks of meetings
12 at the ISO last summer at the utilities, the Clean
13 Coalition has been present and active and adding to the
14 discussions. Craig is the Executive Director of the
15 Clean Coalition, an organization focused on implementing
16 best practices for scaling cost effective clean, local
17 energy that is available now throughout the U.S. Mr.
18 Lewis is a leading smart energy strategist and advocate
19 with over 20 years of experience in renewables, wireless
20 and semiconductor industries. He founded the Clean
21 Coalition in January of 2009 and has navigated the first
22 successful solar project through the California
23 Renewables Portfolio Standards Solicitation Process.
24 And he's been involved in two dozen RPS projects since
25 then.

1 MR. LEWIS: Thank you, Linda. Chair
2 Weisenmiller and everybody else, I know this is the end
3 of a long day—or coming to the end of a long day. So
4 I'm going to try to be very brief with my comments.
5 I've got a lot of details in my slides. Those slides
6 are available to everybody on the website so I'll trust
7 that you all can navigate through the details as you
8 wish.

9 Per Sasha's comments that she just made, she
10 was really impressed with the slides that she's seen
11 today and the presentations. I also have been very
12 impressed. And the conclusion that I have at this point
13 is that I've worked in the DG market for a long time.
14 I've been involved in dozens of projects through the RPS
15 program here in California and the DG market is ready.
16 The market is there.

17 What I'm convinced of after today is that the
18 smart grid technology will be ready by the time it is
19 needed. It's not needed today, we can put lots of
20 additional wholesale distribution generation on the grid
21 before we actually need the smart grid solutions to be
22 active. But we need that technology to be on its way
23 and it is on its way, as evidenced by everything we've
24 heard today.

25 The, probably the most important thing

1 relevant to this—my presentation here is that the policy
2 is broken. So we've got the markets there, the
3 technology is coming but the policy is broken. And
4 that's what needs to be fixed. The policy needs to be
5 fixed in order for us to maximize success of the
6 potential of distributed generation and smart grid
7 solutions. And it's a big part of what needs to be
8 fixed is with respect to interconnection. We need lots
9 of interconnection reform if we're going to be able to
10 get anywhere on seriously generation smart grid.

11 This slide didn't actually come through very
12 well. A couple of words on the Clean Coalition. This
13 is a slide that I made six years ago and it basically is
14 what we need to do—we need to get from the energy
15 picture that we have today, and we have the energy
16 picture six years ago. That's my chart there on the
17 left which is a fossil fuel dominated energy picture.
18 And we need to get to the smart energy future which is
19 the—what's supposed to be a pie chart there on the
20 right. And that is supposed to be mostly green with
21 renewables, demand response, energy storage, electric
22 vehicles and everything surrounded by energy efficiency.
23 Those are the big five solutions and those big five
24 solutions are almost are related to DG and/or smart
25 grid.

1 A quick note on our Board of Advisors because
2 we've got a strong connection here to the California
3 Energy Commission. Two former Chief California Energy
4 Commissioners are on the Board of Advisors—John Geesman
5 Jeff Byron and also lots of other names that are very
6 familiar to the Energy Commission here.

7 So let's put California into perspective. The
8 situation in California is that we got an RPS program
9 back in the early 2000s and we've basically been flat
10 lining on the technologies that are actually of any
11 concern here. The technologies that are of concern are
12 the intermittent renewables technologies, that's solar
13 and wind. Well, California has basically been getting
14 lapped by the leading markets around the world that are
15 actually deploying solar and wind. And California,
16 relatively speaking, is just flat lining. So California
17 is pretty much the horizontal line in green toward the
18 bottom and you see markets like Portugal and Spain and
19 Germany that are just lapping us. Their curves are
20 exponential in comparison.

21 So I talked about the fact that the policies
22 are broken and they need reform. This is a look at the
23 experience that California is having with getting
24 wholesale distributed generation online. Or excuse me,
25 just getting wholesale renewables online. And what this

1 group of bars represent, if we just look at the group of
2 bars on the very far right that represents the
3 experience for the amount of renewable capacity that is
4 getting fed into the RPS solicitation process and the
5 auction processes. Any program that deals with RPS
6 energy, this is the—the top blue bar is the amount of
7 energy that gets bid in to those programs. The
8 aggregate amount. And what happens is that we lose 90
9 percent of that right away between bid capacity and what
10 actually gets shortlisted. And I can tell you, I've
11 been involved with dozens of projects, you spend an
12 average—even for small wholesale DG projects—a couple o
13 megawatts—you're going to spend anywhere from \$300,000-
14 \$500,000 getting your bid ready and 90 percent of those
15 are gone. You don't even make the shortlist. So if you
16 don't have any opportunity to negotiate with the utility
17 to bring that energy online. Now the guys that are
18 lucky enough to get shortlisted, the 10 percent, half of
19 those—or more than half of those don't actually get to
20 the contract. And this chart doesn't even go into the
21 fact that probably half of those projects that get
22 contracted never actually come online because they bid
23 too low or their interconnection costs end up being too
24 high and they go away. So we just have a really, really
25 damaging experience here in terms of failure rates.

1 We've got to fix that.

2 One of the ways to fix that is to follow the
3 leading markets around the world and bring a clean
4 program; a clean, local energy accessible now program
5 which is essentially a feed-in tariff for the wholesale
6 DG market segment.

7 So just to make sure that everybody is clear
8 on what wholesale DG is, this diagram basically shows
9 three market segments. We've got the retail DG market
10 segment and everybody knows that. That's the net
11 metering market. And then we're got the, on the other
12 side of the spectrum, we've got the big central station
13 renewables. It's out in the middle of nowhere, 100
14 megawatts. It's interconnected to the transmission. In
15 the middle is the sweet spot and it's really what we've
16 all been talking about today. It's the wholesale
17 distributed generation market segment. It is renewables
18 that are interconnected to the distribution grid and
19 serving local energy needs.

20 All right. So let's look at the markets
21 that's actually working. Here's a little comparison of
22 the solar experience in Germany versus the solar
23 experience in California. The Germans are putting on 28
24 ½ times more solar. In 2010, the Germans put on 28
25 times more solar than California did despite the fact

1 the California had a solar resource that is 70 percent
2 better than Germany's.

3 Now that next thing that you need to see is
4 that the Germans are doing this, it's almost entirely
5 rooftop solar, they put 7.5 gigawatts of rooftop solar
6 on in Germany last year. Rooftop. And you can see how
7 it's distributed in project size. It ranges from
8 residential scale up to over a megawatts scale—but
9 almost all of the deployment are one megawatts or
10 smaller rooftop solar projects.

11 And by the way, I just want to note that these
12 are mostly not behind the meter. So this is wholesale
13 DG. Interconnection directly to the distribution grid.
14 Even if it's up on a residential rooftop it comes down
15 and interconnects with the distribution grid. One
16 hundred percent of the energy is delivered to the grid
17 and they're paid for every kilowatt hour that's
18 delivered.

19 All right. Sometimes people will say that the
20 Germans are paying too much for their solar. The
21 reality is that they're paying the equivalent of 12
22 cents a kilowatt hour. This is for rooftop solar, in
23 Germany, today. And those efficiencies is because
24 they're doing so much deployment that they can get the
25 scale where the cost of the equipment, the cost of the

1 installations and the cost of the financing are so low
2 that basically 12 cents kilowatt hour is what they have
3 to pay. Now some people will say that it's actually 30
4 cents if you do the translation of the German feed-in
5 tariff rate. That is actually true but if you take 30
6 cents and you convert it for the fact that they don't
7 have the tax benefits like we do in the U.S., they don't
8 have the solar resource that we have in the U.S.; 30
9 cents in Germany is only worth 12 cents kilowatt hour in
10 California.

11 And this is just a quick slide to show you the
12 different in the solar resources in Germany versus
13 California. The German--the country of Germany is in the
14 lower right hand corner. Purple is the worst solar
15 profile that you can get. It's worse than Alaska. The
16 entire continental United States is better than the
17 solar resources that they have in Germany.

18 So I've talked about the interconnection
19 issues. This is a chart that basically shows the number
20 of interconnection requests that we are now experiencing
21 in California and you can see that we've had this
22 massive ramp up of interconnection presence. This is for
23 distribution grid interconnection requests. And the
24 actual amount of energy and the number of projects that
25 have been connected to our distribution grid is

1 practically zero. Almost all of the renewable energy
2 sign-ups in California for the RPS program has been
3 central station, interconnected to the transmission
4 grid. There's a handful of projects only that have been
5 connected to the distribution grid. So barely any
6 projects that have actually come online but there's a
7 whole bunch of backlog on interconnections. But why is
8 that.

9 Well, we have, as you heard earlier this
10 morning, we've gone through this interconnection reform
11 process. Well we definitely need interconnection reform
12 but we need to re-reform the process. What is basically
13 happened is that if you want to interconnect to an IOU
14 territory, that's PG&E, Southern California Edison or
15 SDG&E, you're basically looking at a process that is
16 going to take you two years just for the
17 interconnection. So this chart is a little hard to
18 read but if you've got a copy of it in front of you, you
19 can see that the orange bars show you want the total
20 process is. The process steps involved with getting a
21 project online with an investor owned utility in
22 California. This chart shows that it's basically going
23 to be between three and three-and-a-half years, that's
24 if everything going according to the calendar so who
25 knows if that's going to happen.

1 What I want to emphasize here is that we have
2 a really good example from the Sacramento Municipality
3 Utility District. Those guys have a process that gets
4 the interconnection done in six months. Six months
5 versus two years. The IOUs and the regulators in the
6 state of California have got to do some benchmarking off
7 of best practices. And Sacramento is providing a
8 beautiful benchmark for providing interconnections done
9 efficiently and effectively.

10 So I'm going to go over a few points. This is
11 kind of what I call the connecting the dots to reform.
12 There's a lot of really important pieces of information
13 that's spread out in a lot of different places. I've
14 got my top five in place here for you.

15 The first one is that 75 percent of investor
16 owned utility's capital expenditures are spent on the
17 distribution grid. Just let that sink in for a minute.
18 Three-quarters of all the investor owned utility's
19 capital expenditures are spent on the distribution grid.
20 This is a massive investment not being made by the
21 utilities, it's being made by the ratepayers. It's
22 being made by me and you. That is a massive investment
23 and as a ratepayer I want to make that my investment is
24 being made effectively. That means it needs to be
25 future proofed. It needs to be ready for lots of

1 wholesales and DG to get interconnected to that grid.
2 Second point, Germany and Spain provide
3 excellent proxies for California's distribution grid to
4 accommodate significant loads of clean local energy.
5 There was a great KEMA study that was commissioned by
6 the California Energy Commission that was just released
7 last month and it showed that California's distribution
8 grid is not all that different than Germany's or
9 Spain's. And the Germans and the Spanish have
10 multiples, multiple, times more distribution of
11 wholesale DG on their grid than California does. We've
12 got a lot of headroom before we need to hit any panic
13 buttons. And we need to start getting that energy. We
14 need to get those interconnections done.

15 Third point. Market price reference. This is
16 kind of the standard for what you're allowed to sell
17 renewable energy to the utilities at in California. The
18 market price reference is determined at the point of
19 interconnection. This means—and it's off of 500
20 megawatts combined recycled gas to room power plant.
21 This means that that interconnection pilot is out in the
22 middle of nowhere interconnected to the transmission
23 grid. When you normalize the locational benefits of
24 interconnecting your energy to the distribution grid
25 instead of the transmission grid, you're talking about a

1 25 percent value add for the energy interconnected to
2 the distribution grid is worth 25 percent more. How do
3 you get that? Well, first of all you're not paying
4 transmission access charges which are at least 1.5 cent
5 per kilowatt hour. That's just the supposed standard
6 rate that has to get paid. For every kilowatt hour that
7 drops down from transmission to distribution it's 1.5
8 cents, that's about 15 percent of the baseline market
9 price. Then you take into account that there's a line
10 loss and a congestion loss for every kilowatt hour that
11 comes off the transmission. And on average that's about
12 a 10 percent line loss, line slash congestion loss. So
13 there's a 25 percent value boost to wholesale
14 distributed generation in California that is not valued,
15 that's not compensated at all, in the market price
16 reference. And we need to change that.

17 Last two connecting the dot points.
18 Developers are responsible for 100 percent of the cost
19 of distribution grid upgrades when they interconnect
20 projects to the distribution grid. This is different
21 from how it works on the transmission grid. On the
22 transmission grid the ratepayer is going to pay 100
23 percent of the upgrade cost of the transmission grid.
24 And they're going to pay zero percent of the upgrade
25 cost for the distribution grid. It's just the way FERC

1 has ruled on these things. So the ratepayer is getting
2 a free upgrade to the distribution grid when developers
3 are interconnecting to the distribution grid and paying
4 for network upgrades.

5 The final point here is that the wholesale
6 distributed generation interconnections need to be far
7 more timely and transparent. As I already talked about
8 this, wholesale DG interconnection process is basically
9 that you're looking at a two year process if you're
10 trying to do interconnection with an investor owned
11 utility in California--And I also mentioned that we've
12 got a beautiful benchmark with SMUD. SMUD did a 100
13 megawatt feed-in tariff program, 100 megawatts of
14 projects, and they took two guys in two months and did
15 all the interconnection studies for all of the projects
16 that were in the 100 megawatts. Two guys in two months.
17 And it takes two years to get a single project done with
18 an investor owned utility. I know there's investor
19 owned utility guys in the room and a lot of them are my
20 friends, but that is really pathetic and we've got to
21 change that.

22 All right. So the solutions. We need to re-
23 reform the distribution grid interconnection procedures,
24 I hope that is painfully clear to everyone. We need to
25 create a robust clean program, a clean local energy

1 accessible now program, which is also known as a feed-in
2 tariff program for smaller projects five megawatts and
3 below is what we promote. And we need to implement a D-
4 grid vision, we have to have an integrated vision for
5 the distribution grid.

6 One of the important things here is that the
7 California Public Utilities Commission is proving to be
8 a lot more friendly toward making sure we're getting
9 good quality interconnection reform from them than the
10 Federal Regulatory Commission is so to the extent that
11 we can we need to make sure that the CPUC is in charge
12 of interconnection policy instead of having the Federal
13 folks in charge of it. We really need to reassure
14 jurisdiction over wholesale distributed generation
15 interconnection and we should do that through Rule 21
16 interconnection reform.

17 And both FERC and the CPUC need to hold the
18 utilities responsible for making sure that they are
19 doing their interconnections on a timely and effective
20 and transparent process. So we need to have audits
21 because right now the utilities are in charge of the
22 interconnection processes. You have to go to the
23 utility to get your contract and you have to go to the
24 utility to do your interconnection. And there's nobody
25 auditing them on the interconnection. We need audits

1 and we need to make sure that those audits are moving
2 the investor owned utilities to the benchmarks that
3 we're seeing from the really good--the folks that are
4 have really effective interconnection processes like
5 SMUD. And we need to have penalties. We need to have
6 some teeth in that if the utilities don't perform.
7 There's lots of penalties for the developers if the
8 developers don't perform; we need to have some
9 venalities on the utilities if they fail to perform.

10 All right, I'm going to skip that slide. And
11 I know everybody is getting a little tired so I'm going
12 to skip to my next big topic which is that we need to
13 have transparency on what the upgrade costs are going to
14 be. So I told you that the developers are responsible,
15 and I'm on slide 21 for those of you following along
16 remotely, the developers are responsible for 100 percent
17 of the upgrade cost of a distribution grid project. A
18 project that's going to interconnect to the distribution
19 grid. These constants range from zero to million of
20 dollars per megawatt. So these things--it's like playing
21 a game of Russian roulette and, like I said, you've got
22 to go to the utilities and deal with the utility in
23 order to know what that cost experience is going to be.

24 We've got to get some transparency on those
25 interconnection costs before a developer gets site

1 control costs of hundreds of thousands of dollars. So
2 before you start that process of getting site controls,
3 you need to know whether that location has any kind of
4 potential to become a viable project. In order to have
5 transparency you need to know things like what's the
6 capacity. What's the capacity of the substation that
7 this location is connected to? What about the actual
8 circuit and the line segments? What are the back feed
9 potentials and the cross feed possibilities at that
10 point? Keeping minimum loads of all of the items above
11 and the size of the location in the queue. Not only do
12 you have to have a snapshot of what it is today but you
13 have to have a snapshot of everybody that's ahead of you
14 that's going to be interconnecting wholesale DG projects
15 anywhere near you on that circuit or that substation.
16 You have to be aware of that because that's going to
17 impact the experience you're going to actually have at
18 the end of the day when you finally get it built.

19 You need to be able to predict what those
20 upgrade requirements are going to be and determine what
21 the costs are going to be, ultimately that is the most
22 important thing. What are the costs going to be?

23 Now here's a little bit of good news. Data
24 availability is improving. So we've been working—the
25 Clean Coalition has been working for a long time with

1 lots of other folks and the CPUC has been very helpful
2 in this effort and I think the utilities have been very
3 good in terms of coming along and, particularly, PG&E
4 has really led the way. They provide a fair amount of
5 data availability now. The problem is—there's still a
6 problem that the data that's available doesn't allow
7 you—it's not the data you need in order to qualify for
8 things like fast track which is an accelerated
9 interconnection process. You don't have the visibility
10 that you need in order to know whether you can qualify
11 for things like that and if you're not in fast track
12 then guess what, you're stuck in the two year long
13 process that I was talking about.

14 The next two slides basically show a table,
15 and I'm not going to go through the details, but what
16 they'll be showing here is a partial list of the things
17 that you will have to pay for upgrades. These are a new
18 transformer or some reconductering of power lines.
19 There's a list of things and as you need more and more
20 of those things on the list you're experience is going
21 to get more and more expensive in terms of the network
22 upgrades. So what we need to do is we need to start
23 standardizing some of this. So data availability, when
24 I talk about data availability it's not just how much
25 capacity is there at this point and how many people are

1 ahead of you in the queue but if you decide to
2 interconnect a five megawatt size project at this point
3 what are my costs of network upgrades going to be.
4 Rather than playing a game of Russian roulette tell me.
5 There information is there. The utilities have this
6 information. They know that if you interconnect five
7 megawatts at that point you're going to be tripping a
8 transformer and you'll have to connect some lines and
9 let's make that information available. And we can
10 standardize this process. We can standardize the costs.

11 So this is my very last slide. Basically,
12 we're standardizing and rate basing for preferred
13 locations. So if we can standardize this process then
14 for locations that make the most sense for the
15 ratepayers in California we should also allow the
16 utilities to pay for those upgrades which would simplify
17 the process drastically for interconnection and if the
18 utilities are paying for it, then eventually, that's
19 going to be rate based so essentially the ratepayer is
20 going to pick it up. But if we do this it will
21 streamline the whole process and we'll have a much
22 easier, effective and successful experience with the
23 smart grid and distributed generation in California.

24 MS. KELLY: Are these any questions from the
25 audience? Nobody? Okay. For our last presentation,

1 Eugene Shlatz is a Director in Navigant Consulting's
2 energy practice. Gene has over 25 years of management,
3 consulting and supervisory experience in energy delivery
4 and power generation systems. He has managed to include
5 smart grid and renewable technology, asset management,
6 electric reliability and systemically he was used for
7 the U.S., Canadian and South American utilities. He is
8 an expert on electric power delivery systems and has
9 testified before FERC and the State Utility's Commission
10 on system expansion, transmission open access and retail
11 rate cases and regulatory compliance. Today he will
12 discuss a study that he did for the Public Utility
13 Commission in Nevada and he looked at the costs
14 associated with adding DG to the distribution system
15 from the distribution utility's point of view. Gene?

16 MR. SHLATZ: Thank you, Linda. Thank you
17 everyone for your patience. It's four o'clock so we'll
18 try to run through this fairly quickly and what I'll do
19 today is focus on the most salient issues in terms of
20 why this study was done, what the outcome was and what
21 are the key results, what are the key impacts, what is
22 important, what's not important and from there entertain
23 any questions that you might have.

24 Okay. Just a little background. The Nevada
25 Commission issued an order to the company to examine how

1 much DG can be installed on the existing system. And
2 the important point to highlight is that they were
3 interested in the system today with no improvements and
4 what can the system accommodate. Some concerns were
5 being raised by the company that well if we see too much
6 PV there could be some impact, there could be some cost
7 and cost was certainly a concern in the economic climate
8 in Nevada. We were interested in the performance, is
9 there enough capacity available on the system and also
10 what's going to be the impact on electricity rates seen
11 though the predominate issue was that how much DG can we
12 fit on the power system.

13 Our focus folks looked at the 80/20 rule,
14 let's not spend a lot of time on what's not important
15 but take a look at where they are likely impacts. We
16 found out that a good portion of the system was fairly
17 benign in terms of the impact of DG on the system so we
18 tended to focus more on those areas where there could be
19 impacts.

20 Just to emphasize it again, we looked at DG
21 meaning PV and wind, typically five megawatts or less
22 and, in most cases, less than 50 KW, a lot of it rooftop
23 PV interconnected at the primary distribution level, 25
24 KB or 12 KB. I should mention that we are currently
25 conducting another study where we're looking at large PV

1 and DG interconnected on the transmission system partly
2 as a result of this study which found out their impact
3 on the power system so the two systems were integrated.
4 We'll devote more time to that later.

5 It was a collaborative process. We got a lot
6 of good input from a fairly large stakeholder group
7 involving solar community, wind community, state energy
8 office, and the public service commission of course, the
9 company. And, in fact, all of our assumptions had to be
10 vetted and approved by this stakeholder group which was
11 selected by the Commission and incorporated into their
12 order. We found that they provided very, very good
13 input along the way and the process of everybody
14 providing their view and everyone having to sign into or
15 vet all of our assumptions was very critical to get
16 everyone to agree with the results of that study.

17 A few details look predominately at renewable,
18 a small PV, a relatively small wind. It's about a 70/30
19 split overall between PV and wind in the north, 90
20 percent PV and 10 percent wind in the south. The north
21 predominately being the Reno area. The south being
22 predominately Las Vegas.

23 And techniques which were used were very
24 detailed simulation models, distribution load flow
25 models so we could assess the real or the likely impacts

1 rather than back of the envelope type calculations. And
2 we also used production simulation models to be able to
3 evaluation the impacts on the power systems, including
4 generation.

5 We looked at three scenarios over time, one
6 percent penetration, nine percent penetration, 15
7 percent penetration over a 10 year period. What we
8 found was that the one percent penetration scenario
9 really had minimal impact although we jumped very
10 quickly to the high penetration scenario at 15 percent.
11 A little over 1,000 megawatts on a 6,000 megawatt
12 system. That roughly translates into your 12,000
13 megawatts in California. So the studies are somewhat
14 comparable in terms of the amount of DG penetration.
15 Again the 15 percent penetration pace is roughly equal
16 to 10,000 megawatts or almost equal to California. I
17 will emphasize again the one percent level, even at nine
18 percent, we found that the impacts were so benign that
19 we began to focus on the high penetration cases and, in
20 fact, we began to look at penetration levels above 15
21 percent because in many areas of the system 15 percent
22 DG did not create an impact.

23 Now what we had to do to come up with a proper
24 representation of DG impacts and performance on the
25 distribution system was to come up with a representative

1 set of feeders in the north Reno and the south Las Vegas
2 that pretty much covered a broad range of potential DG
3 interconnections and feeder on their system. We wanted
4 to make sure that we got the urban feeders, rural
5 feeders, those with the mix of residential and
6 commercial and industrial loads. Trying to focus on six
7 representative areas in the north and the south for this
8 detailed study. And I would highlight the loads ranging
9 from one mile to 110 miles and loads ranging from about
10 1 megawatt to as high as 12 or 13 megawatts. Same thing
11 in the south, relatively short feeders to somewhat
12 longer feeders. All 12 KB. Downtown feeders,
13 residential. And again we visited to make sure that we
14 had a good representation so that when we did our
15 simulation analyses we had an accurate representation of
16 how DG performance would be of urban, rural, light load,
17 high load.

18 And initially we looked at uniform
19 distribution of DG meaning equally spreading the PV
20 across all of the feeders. Somewhat of an idealist
21 assumption but that was our starting point. If DG was
22 uniformly distributed what are the impacts? But then
23 we also looked at more realistic scenarios where if you
24 take a look on the left, uniform distribution, for
25 purposes of doing our analysis we lumped or grouped the

1 PV at 44 houses in this particular neighborhood on this
2 particular feeder for purposes of doing—or streamling
3 our feeder analyses. And then we also clustered the PV
4 at the end of the feeder so that we could examine
5 impacts under uniform distribution versus clustering all
6 of the PV at the end of the feeder.

7 This slide represents our first display of
8 performance results and what we found for the north and,
9 this was a particular feeder, but somewhat
10 representative of most of the feeders on the system.
11 Assuming a range of plus or minus four to five percent
12 voltage regulation, we found that under 19 percent
13 penetration voltages at the end of the feeder were no
14 lower than 98 percent well within the 95 percent
15 criteria that we set among the stakeholders.

16 What we actually found though, in some
17 instances, of their light load conditions voltage raise
18 if a bit more of an issue so when you have a lot of DG
19 located at the end of the feeder, light load conditions,
20 we found that voltage regulation in terms of voltage
21 raise became a bit more of an issue. And that's fairly
22 consistent with the number of the studies that have been
23 done independent of ours.

24 But under the lower penetration scenarios
25 there was very, very little movement in terms of voltage

1 regulation and that was partly due to the length of the
2 feeders. Many of them are short in urban areas. Many
3 of them are underground cable systems. Voltage
4 regulation on those short feeders in a suburban and
5 urban areas of the Las Vegas, and Reno for that matter,
6 were marginally impacted from the voltage regulation
7 standpoint because only 15-20 percent DG is being looked
8 at. It was relatively benign, all inverter based, set
9 power factor at .99 or 1.0 so it basically became a
10 current injection source and direct offsets of the load.
11 Hence, as a result, voltage regulation in most cases was
12 not a problem.

13 Then e took a look at what happens when you
14 take all of the DG and put it at the very end of the
15 feeder or the worst possible location in terms of
16 voltage performance. Then we began to see some results
17 where it was a predominately raise issue, mostly on the
18 longer feeders, recollect that we had a 50 mile feeder,
19 a 100 mile feeder, so when we put large amounts of DG at
20 the very end of the feeder there were some violations.

21 One thing that I would highlight though, if
22 you take a look at this blue line, that blue line is a
23 typical feeder in Las Vegas, serving a mix of commercial
24 and residential loads. And, in this case, we had DG
25 penetration levels of up to 80 percent of the feeder

1 rating. Those one to two mile, mixed residential and
2 commercial small industrial feeders have very, very low
3 impact from a voltage performance standpoint. It's only
4 when you got to outlier feeders which were extremely
5 long, not representative of these entire systems that we
6 run into some voltage problems. And in the case of this
7 particular feeder, this is, I believe, an 80-100 mile
8 feeder where all the wind and PV was put on at the end.
9 We looked at light load conditions under very heavy
10 penetration, 60 percent, and it's at that point that we
11 began to see voltage regulation problems. In all cases
12 though, at 20 percent-15 percent or less, there were no
13 significant voltage regulation problems.

14 Now. So one thing that I would mention that I
15 don't have up here is that there were pockets where,
16 recognizing that some of the lateral feeders, someone
17 mentioned today putting a lot of DG on the number four
18 overhead wire and it creates some localized problems, we
19 saw that. But our primary interest was looking at the
20 mainline feeders and whether or not there would be any
21 major impacts recognizing that there was always a
22 potential for localized problems. The local
23 distribution transformer didn't end up being big enough.
24 The local distribution single line may not be big enough
25 and those may have to be upgraded for higher penetration

1 levels.

2 And so our essential conclusion on the
3 distribution study was that the distribution system
4 alone was not a limiting factor with regard to how much
5 DG could be installed on the system. Of course,
6 recognizing very high amounts of DG located at the end
7 of the feeder might cause some problems with regard to
8 voltage regulation, we also found that some of the
9 protection devices and coordination items had to be
10 updated. These are relatively low cost upgrades
11 compared to the cost of rebuilding a feeder. So I don't
12 want to ignore some important findings with regards to
13 the need for improved protection, protection
14 coordination, changing out the old analog equipment were
15 we can accommodate some reverse power flow.

16 So what we found though when we began to look
17 at the volt power systems, in terms of OK. The
18 distribution system has some minor limitations but by
19 and large not the limiting factor. Then we need to look
20 at the bulk power system. The combined generation
21 system in terms of can you take 1,000 megawatts of DG
22 and put it on a 6,000 megawatts system and still have
23 your generation operate with current performance
24 criteria. Recognizing that they have other large
25 projects, large biomass projects, large wind and other

1 large solar that had either approved purchase power
2 contract or were in the negotiating stage. Forty-four
3 projects outside of DG represents around 1,200 megawatts
4 of other renewable generation that is likely to go onto
5 the system where it exists today.

6 And that leaves us with this diagram. I've
7 seen variations of this diagram today and so it's a
8 little bit fuzzy but what we did was, we took every
9 single day of April 2011 and basically drew the hourly
10 loads for each of those days. And then we took a look
11 at what might be a stressed hour and that is about nine
12 or ten o'clock in the morning when there's a significant
13 amount of DG output in the form of PV. Now I'll walk
14 through this very carefully. At about nine o'clock in
15 the morning, the voltage is between 2,500 megawatts and
16 3,000 megawatts on the entire power system. Recognizing
17 that there is a balancing control area which is about a
18 6,000 megawatt system compared to about a 50,000
19 megawatt system here. So what happens? Fifty-four
20 percent of that load is met by conventional thermal
21 generation, predominately combined cycle because it can
22 follow load, to meet operating reserves. But then we
23 also have another 5-10 percent buffer because of
24 proposed energy efficiency and demand response programs
25 of up to 500 megawatts of demand response. The 1,240

1 megawatts of committed renewable projects all must take
2 energy under the purchase power agreement and then the
3 question becomes how much more DG can we fit for those
4 hours. And in that particular hypothetical example,
5 that brings us down to about 300 megawatts. And that
6 led us to conclude during those hours of the year when
7 loads are light, like this spring when loads are light
8 on the system, we need to be mindful that the generation
9 systems can be impacted and can possibly limit the
10 amount of DG. So that led to a conclusion in our study
11 that a more dominant factor was power generation system
12 and whether that could accommodate this amount of DG, or
13 12,000 megawatts of DG.

14 We also looked at the cost impacts. We were
15 interested in what—when you integrate that amount of DG,
16 one percent, nine percent, 15 percent—what happens to
17 the generation mix in terms of fuel offsets. What fuel
18 is avoided as a result of DG. And their system was
19 predominately natural gas but, interestingly enough, the
20 blue lines represent avoided coal generation. So not
21 only were the combined cycles being backed off but some
22 of the coal generation as well. And that's because of
23 the evening loads or the early morning loads were
24 generation had to back down because of the DG and the
25 renewables.

1 Now the question also came up of what are the
2 corresponding benefits? Are there any capacity benefits
3 for wind and predominately PV? And the Las Vegas area,
4 which dominates the load, tends to peak later in the
5 day. So we identified a good match or correlation
6 between peak PV output and peak system output or peak
7 load. So we found very minor capacity benefits
8 associated with DG.

9 And nearing my last slide, another part of our
10 exercise though was taking a look at current net
11 metering loads which allows up to one percent of net
12 metering, well what happens if we were to increase the
13 nine percent or 15 percent? And what we found was that
14 the upper dark shaded area represented the emission
15 benefits associated with DG, the green-light green
16 represented fuel cost offsets, the remaining cost in
17 blue repents effectively all the remaining O&M expanses
18 at the distribution level, distribution system
19 investment. And so we found though that there was
20 actually a revenue gap of about \$50-100 million annually
21 under the current net metering rule under current retail
22 rates. The Bureau of Consumer Protection was very
23 interested in seeing this as the issue was before the
24 legislature at the time.

25 So the essential conclusion of both the north

1 and south Nevada systems is that they can accommodate
2 large amount of DG when DG is evenly distributed,
3 somewhat less when clustered, but the essential question
4 of when we look at 15 percent penetration most areas of
5 the system can accommodate 15 percent and, in many
6 cases, more DG. And, again, I need to emphasize DG in
7 the form of inverter based technology.

8 And the third bullet, we also looked at the
9 transmission grid. When we had large penetration of DG
10 coupled with most state renewables we found that there
11 were some transmission impacts. We did network load
12 studies and so they were preliminary but we determined
13 that there could be some impacts with regard to VAR
14 flow, importing of VARs from adjacent system were of
15 real concern to the company.

16 But the effective conclusion was that the VAR
17 generation system was more impacted by DG at high
18 penetration levels than the power delivery system.

19 Currently, we're also working on a follow-up
20 study where we're examining large scale PV on the order
21 of 100-300 megawatts per installation in the desert to
22 evaluate the combined impact of DG and large PV,
23 especially with regard to looking at the minute-by-
24 minute impacts with regards to reserve requirements,
25 frequency regulation, load following requirements. What

1 are the impacts as we begin to look at highly
2 intermittent PV. The gentleman from SMUD mentioned
3 earlier that 50 percent of loss of PV output can happen
4 on a cloudy day in a one minute timeframe. We're seeing
5 the same type of occurrence. This study is wrapping up
6 now and will be completed by the end of July this year
7 and will be publicly available as well. And indeed we
8 are taking a look at some fairly interesting data. The
9 Sandia National Labs is involved, the Pacific Northwest
10 National Labs is involved as well at taking a look at
11 the operating reserve requirements and impacts. But
12 Sandia has already developed, for our representative
13 year 2007, minute-by-minute profile of 10 large PV sites
14 in southern Nevada. And you can see that on a cloudy
15 day that the variability of low deck can happen. The
16 related question is though given that we're offsetting
17 thermal generation, is there enough remaining generation
18 to be able to follow load and not violate NERC
19 performance criteria under CPS1 and CPS2. And that is
20 the essential question that we're answer and still
21 looking at today. And we'll have an answer in a little
22 more than a month.

23 And one of the interesting phenomenon, of
24 course is that, you can see that there's numbers on the
25 map of southern Nevada and up in the upper left is

1 number seven. That's a 300 megawatt proposed plant.
2 And so when cloud cover goes across the area, it doesn't
3 necessarily hit every plant at once, so there is some
4 geographic diversity and benefits for large PV. And you
5 can see that in the composite curve on the right.

6 And that ends my discussion. Glad to answer
7 any question you might have.

8 CHAIRMAN WEISENMILLER: Thank you for being
9 here.

10 MR. SHLATZ: Thank you for the opportunity.

11 MR. THALMAN: Jonathon Thalman from PGE. On
12 your conclusion slide, you had an interesting slide that
13 you omitted to talk about. I was wondering if you could
14 address that for us.

15 MR. SHLATZ: Certainly.

16 MR. THALMAN: The reason that I'm interested
17 is that is it just something that we are concerned about
18 and you're talking about the reduction in revenues and
19 how it could be impacted by net energy and net energy
20 metering rules. So it's a concern we have. It's
21 interesting because in your study you show that this was
22 the case. So I'm curious how you found out and how you
23 quantified that.

24 MR. SHLATZ: Well, the technique that we used,
25 of course, was we conducted productive simulation

1 analyses using ProMod and basically looking at the
2 impact of DG and basically the model of the re-dispatch
3 of the entire system every hour to identify what the
4 change in fuel costs and O&M is, variable O&M, for the
5 system. But then we took a look at the current net
6 metering rules are basically a full offset under current
7 retail rates. Now, one assumption that we made was
8 critically important, and that was about 70 percent of
9 the DG was small. Meaning, it fell under residential
10 rate classes one and two which were all energy rates.
11 Only 30 percent were under commercial rates where the
12 demand charge would be offset. So effectively the rate
13 was 10 cents for example, there was a, virtually, a 9-10
14 cent credit even under current net metering rules. So
15 the fuel cost offset, 30 percent perhaps of the total
16 plus the additional emission benefits only constituted
17 maybe 35 percent of the total cost of delivery under
18 that embedded or under that retail rate. So the
19 offsetting benefits were predominantly emission and
20 fuel. We found very, very little benefits, in terms of
21 capacity, there were some marginal loss benefits but
22 they were small. Most of these systems were these short
23 feeders, one mile long, and in most cases the loss
24 benefits were less than one percent, except on the very
25 long feeders. There were far more greater number of

1 small feeders. But that's how we came up with the
2 number. And it's hypothetical because 15 percent of
3 penetration, net metering rules at that level just
4 weren't contemplated but it was a stakeholder driven
5 process. One of the stakeholders from the state energy
6 office was pretty adamant that we look at the high
7 penetration levels under current net metering rules.

8 MS. MARKS: Jaclyn Marks from the, California
9 Public Utilities Commission. I'm very interested to see
10 when this next study comes out and presenting on it.
11 I'm interested in your first conclusion which is that
12 you believe that greater amounts of DG can be
13 accommodated on the existing infrastructure, when evenly
14 distributed, less when clustered. When does less when
15 clustered mean? Can you please clarify that? And the
16 reason that I ask is because we know that the way land
17 availability works and rooftops work is usually when
18 there's clusters and it's not evenly distributed. So
19 how does that really apply in the real world?

20 MR. SHLATZ: Yes. Well, your state pretty
21 much underscores the impact. We recognize that the
22 system is not ideal and they're not going to get even
23 distribution but that was our starting point. What we
24 mean by less—we were intentionally vague because less
25 meant different things on different parts of the system.

1 On all of those one mile long feeders in Las Vegas and
2 downtown and the surrounding area, it didn't matter if
3 it was clustered or a one mile feeder or a two mile
4 feeder. You put it all out at the end of the feeder.
5 There's not anything lateral on that feeder. They're
6 all main lines. So it didn't matter at all. That's why
7 we were vague on that point. In a large number of the
8 feeders, clustering didn't matter. On the other hand,
9 there were some where it mattered a lot. Those long
10 feeders up in rural Nevada, out in Elk Grove, where
11 there was more wind generation, plunking down five
12 megawatts of PV and wind at the end of a two megawatt
13 feeder, that type of clustering had a huge effect than
14 if you had evenly distributed over 100 miles. So it
15 really--location, location, location makes the difference
16 in terms of does clustering have an impact.

17 Frances, yes?

18 MS. CLEVELAND: I was wondering, given that
19 we've been talking about inverters with the capability
20 to do volt VAR control, do you see if there would be a
21 significant impact if you installed--you know you're not
22 changing the distribution system but if you installed
23 inverters that had pre-specified volt VAR capabilities.

24

25 MR. SHLATZ: Absolutely. Yes. We were

1 looking at the existing system. And a good point that
2 you raised is that we looked at existing technology. We
3 were not asked to look at advanced technologies in terms
4 of having that capability so current rules, current 1547
5 requirements but everybody on the team understood that,
6 "Gee, if we could vary the reactive output to have it
7 respond to those high voltage conditions, we could
8 mitigate that effect." Yes.

9 MS. CLEVELAND: I mean, I agree. You have to
10 do what you were asked to do and that's the real world
11 but I was also wondering in your next studies whether it
12 wouldn't make more sense to include that kind of
13 capability?

14 MR. SHLATZ: Under that study, we're under the
15 same assumptions. In fact, there's even a greater
16 restraint because the study has so many variables we're
17 looking at the snapshot of 2011 only. We're kind of
18 constrained by current technology, current rules but I
19 would say, specially on this bulk grid, where we're
20 looking--the transmission impacts were not capacity
21 transmission impacts of voltage reactive power flows.
22 So your point is so well taken because if there was
23 greater control on that then an ability to manage it
24 would make a huge different. What happened was that as
25 you get greater miles of PV and DG penetration, shutting

1 down some critically loaded power plants which are
2 providing post-contingency reactive support now go away
3 because they're offline creating a VAR deficit.

4 Anyone else? Anyone on the line have any
5 questions? Okay. Thank you. Good questions.

6 MS. KELLY: Thanks, Gene.

7 CHAIRMAN WEISENMILLER: Thanks again.

8 MS. KELLY: Chairman, any last comments or any
9 last questions?

10 CHAIRMAN WEISENMILLER: Again, I'd like to
11 thank everyone for their participation today. It's been
12 sort of a lively and interesting group. And certainly
13 at this point I think it's time to move on. I
14 appreciate everyone filing written comments. When are
15 they due, Suzanne?

16 MS. KOROSSEC: July 6.

17 CHAIRMAN WEISENMILLER: Okay. So thanks
18 again. This meeting is adjourned.

19 MS. KOROSSEC: Thank you. Thank you, everyone.

20 [Meeting is adjourned at 4:50 p.m.]

21

22

23

24

25