

BEFORE THE
CALIFORNIA ENERGY COMMISSION

DOCKET 10-BSTD-01
DATE AUG 17 2011
RECD. AUG 26 2011

Draft Revisions for)
 Nonresidential Buildings for Possible) Docket No. 10-BSTD-01
 Inclusion in the 2013 Building Energy)
Efficiency Standards)

CALIFORNIA ENERGY COMMISSION
 HEARING ROOM A
 1516 NINTH STREET
 SACRAMENTO, CALIFORNIA

WEDNESDAY, AUGUST 17, 2011
 9:00 A.M.

Reported by:
 Kent Odell

 **ORIGINAL**

APPEARANCES

Staff Present:

Mazier Shirakh
Martha Brook
David Ware
Jim Benya
Gary Flamm
Ryan Ware

Also PresentAttendees

Jim Benya
Mike Keesee, SMUD
Robert Raymer, CBIA
Mike Hodgson, Con-Sol representing CBIA
Mike Gabel, Gabel Associates
Cathy Chappell, Heschong Mahone Group
Jon McHugh, McHugh Energy
Patrick Eilert, PG&E
Dimitri Contoyannis, AEC
Richard Lord, Carrier Corporation
Tom Garcia, CALBO
Daniel Hamilton
Mike McGaraghan
Elizabeth Joyce
Ira Richter

INDEX

	PAGE
Introduction/General Information about 2013 Title 24 Rulemaking Calendar	4
Mazier Shirakh, CEC	
2013 Prescriptive Integrated Measure Analysis	
Martha Brook	8
Air Sealing	
David Ware	27
Electrical Power Distribution Systems	
Jim Benya	45
Condenser Water Reset Controls	
Martha Brook	77
Lunch	87
Boiler Efficiency Measures	
Martha Brook	88, 102
Solar Water Heating For Restaurants	
Martha Brook	110
Case Project by IOUs and Taylor Engineering (Author: Mark Hydeman)	
Mazi Shirakh	119
Adjourn	130
Certificate of Reporter	131

1 P R O C E E D I N G S

2 AUGUST 17, 2011 9:15 A.M.

3 MR. SHIRAKH: Good morning. I think we're going
4 to get started. Thank you for coming. It's August 17th,
5 2011. This is mostly Nonresidential, I think it's
6 entirely Nonresidential topics today. After our
7 introduction, the first item that we're going to be
8 discussing will be the Integrated Measure Analysis;
9 basically, this would be the Proscriptive Package for
10 Nonresidential Buildings, and Martha Brook will be
11 presenting that.

12 After that is the Nonresidential Air Sealing, and
13 Dave Ware will be presenting that. And around 11:00,
14 we'll be talking about Electrical Power Distribution
15 Systems, and Jim Benya and Gary Flamm will be presenting
16 that topic.

17 And then we'll break for lunch and, after lunch,
18 the first topic will be the Condenser and Water Reset
19 Controls, and Martha Brook will be presenting. Martha
20 Brook is going to be very busy today.

21 And after that is going to be Boiler Efficiency
22 Measures again by Martha and Solar Water Heating for
23 Restaurants, again by Martha, and the last measure would
24 be Motor Efficiency Measures, and I'll be presenting that
25 one. And then there will be public comments, and then

1 we'll adjourn.

2 I would kind of like to go quickly over the
3 adoption schedule for the remainder of this 2013 Standard
4 Cycle. And we have a new Court Reporter here today, so
5 he doesn't know our names and, again, I'm Mazi Shirakh
6 and my name is up there, and Martha Brook is to my left.
7 So it would be nice when you guys come up, give him a
8 business card so he can have proper names and the work
9 affiliations.

10 So with that, I'm going to actually turn it over
11 to Martha to go through the schedule.

12 MS. BROOK: Good morning. I'm Martha Brook. So
13 this is a new schedule. Those of you who have been
14 attending our workshops have not seen this before, we put
15 this together last week to make sure that we can meet our
16 deadlines to get a standard adoption in March 2012, so
17 backing up from that, we're at August 17th, today, we're
18 having our last pre-Rulemaking workshop next week, and
19 then we're going to spend the month of September drafting
20 the Expressed Terms before the 2013 Update. At the same
21 time, we'll be working with our consultants to complete
22 the Impact Analysis Report, and that will give us the
23 foundation to go forward with our Rulemaking Package.

24 We are planning to have a Committee Workshop in
25 early October so that, before we ever open the

1 rulemaking, our committee members actually are familiar
2 with our Standards Update proposals and any remaining
3 issues around those proposals. So that's the intent of
4 the early October Workshop with the committee. And then,
5 our target is for the third week of October to complete
6 the -- oh, there's a typo in expressed terms, I don't
7 know why it has the "32" in there, but anyway, the
8 Rulemaking Package includes Expressed Terms, the Initial
9 Statement of Reasons, the Notice of Proposed Action, the
10 Environmental Impact Report, and 399 is the State form
11 that needs to be completed that addresses impact to
12 businesses in California.

13 So then, we're intending to basically open the
14 proceeding with the Order to Institute Rulemaking at a
15 Business Meeting in early November, and filing the NOPA
16 package to the California Building Standards Commission
17 at the end of November, publishing the 45-day language
18 and the Environmental Impact Report in early December.
19 We'll be briefing our Commissioners -- I changed this
20 date, the August 8th date is not correct, I changed it
21 earlier this morning, I don't know why it didn't stick,
22 anyway, that August 8th date should be February 2nd.
23 Basically, you know, a week before this Business Meeting,
24 we'll be briefing our Commissioners so that they
25 understand our direction and what we recommend for either

1 adoption or not the 45-day language, and then we
2 anticipate and we are planning for publishing the 15-day
3 language in February, and adopting the standards in
4 March. So, for the near term, we'll be very busy writing
5 code language in September and developing the Impact
6 Analysis Report, and during that time we'll still be
7 working with stakeholders to work through the remaining
8 issues, as we understand them, and that's where we're at.

9 Are there any questions on the schedule?

10 MR. RAYMER: Thank you, Martha. I'm Bob Raymer,
11 a Technical Director with the California Building
12 Industry Association. And if we could look at the
13 October 20th description vs. the February 8th, are you
14 saying that on -- well, I'm sorry, December 2nd, look at
15 October 20th vs. December 2nd -- the first time you'll
16 publish 45-day language, that would be the first week of
17 December?

18 MS. BROOK: That's formally, within the
19 Rulemaking. But we'll have our draft Expressed Terms, so
20 our draft 45-day language at the end of September.

21 MR. RAYMER: Right. Okay, thank you very much.

22 MR. GABEL: Good morning, Mike Gabel, Gabel
23 Associates. Since your schedule doesn't go out further,
24 we can talk off line about this, but I'm concerned about
25 the AC Manual stuff, that we get some kind of draft

1 detailed content outlined before December of next year,
2 but next summer. So I'll have more written comments on
3 that, I just want to sort of file that.

4 MS. BROOK: No, that's great and, in fact, it's a
5 really good idea to go past March and really nail down
6 those dates so that we don't let them slip.

7 MR. GABEL: That's all.

8 MS. BROOK: Thanks. Any other issues about the
9 schedule? Okay, besides my typos. And we'll fix that
10 page before we post this online, so I apologize for that.

11 MR. SHIRAKH: Okay, Pat.

12 MS. BROOK: Pat.

13 MR. EILERT: Hi. Pat Eilert, PG&E. So I just
14 wanted to follow-up on Mike's comment. Does that sound
15 like that's sort of possible to do, to have the manual,
16 you know, some detailed outline by mid-next year?

17 MS. BROOK: Oh, yeah, absolutely.

18 MR. EILERT: Great. Thanks.

19 MR. SHIRAKH: Okay, if there are no more
20 questions on the schedule, why don't we move to the
21 Integrated Measure Analysis? And Martha is going to
22 present that.

23 MS. BROOK: Okay. So just a clarification, in
24 the workshop notice, it said "Nonresidential Alternative
25 Prescriptive Packages," and that's not what we're going

1 to talk about today, we're not quite done with that, but
2 this work that I'm going to be presenting really leads up
3 to what our recommendations will be for those packages.
4 So what we wanted to do was, you know, up until now,
5 we've been presenting individual measure recommendations
6 and staff wanted to understand ourselves, and also
7 discuss with stakeholders, the impact of these measures
8 when they're looked at in an integrated whole, so that's
9 what this analysis does.

10 We took three of the DOE reference building
11 prototypes and the set of DOE reference buildings is what
12 we plan to use for the Nonresidential Impact Analysis
13 Report. They are very well exercised prototypical
14 buildings that DOE has developed and these also have been
15 used to document the expected savings from the last three
16 rounds of ASHRAE 90.1 Standards, so we like the
17 consistency of us also using the same prototypes in order
18 to understand how our standards will relate to those
19 national standards. And because these are all models
20 that have been very well exercised with Energy Plus,
21 we're able to use Energy Plus in our analysis without any
22 hiccups along the way, so that's what we did here.

23 So this sort of spans the variety of
24 nonresidential buildings we expect to be touched by our
25 Standards. There's the large office building, which is,

1 I think it is 12-stories. It is a large office building
2 and, as you can see, the relative roof area to the floor
3 area, total floor area, is small compared to either of
4 the retail or the warehouse prototype buildings, and lots
5 of windows. So that's the large office reference
6 building.

7 The standalone retail is like a big box retail
8 store, you know, the big difference between that drawing
9 that you see there and what we modeled for the standards
10 is that we have lots of skylights on our retail roofs.
11 So those were definitely modeled, even though they're not
12 showing in this drawing, and then the warehouse is large
13 and also largely unconditioned, so a big portion of that
14 warehouse space does not provide cooling. So, as we go
15 through the results, you'll understand the results better
16 knowing that this prototype is sort of the far end of our
17 kind of building sector space, where the large office is
18 totally conditioned and the warehouse is only partially
19 conditioned.

20 So those are the buildings we used in this
21 analysis. Then, what we did was we tried to bound the
22 diversity of California climates by picking six different
23 weather data locations, and we did modeling runs for each
24 of these six locations. And what I'll be presenting is a
25 straight average of the results of these climate zone

1 modeling runs and we do have the detailed list of results
2 and a spreadsheet that we'll be posting online.

3 So the modeling runs that we did, and this is,
4 again, we're just trying to focus on the measures that
5 are going to touch kind of the common building types for
6 nonresidential buildings, so we're not looking
7 specifically at process loads like supermarkets, or data
8 centers, we're really looking at the typical buildings
9 like office retail and warehouses to see how our measures
10 kind of lay out across those common building prototypes.

11 So our first run was basically setting up those
12 prototypes with the 2008 Standard assumptions in there as
13 our baseline run. And then we modeled cool roofs, we
14 modeled envelope air leakage, which is -- and I
15 apologize, that leak rate in parentheses is actually
16 supposed to tell you what the leak rate is, but Dave is
17 going to give that presentation next and we'll populate
18 that before we post it online, I apologize, I don't
19 actually know what it is right now. But good thing our
20 modelers did, so that's the important thing. So then we
21 also modeled our fenestration update, so a U Factor of
22 .36 and a VT of .42, daylighting controls, and additional
23 skylight area in the retail buildings, indoor lighting
24 controls and lower power densities, and in HVAC we
25 modeled reduce reheat when it applied, and single zone

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 VAV when it applied, and also chiller and cooling tower
2 efficiency when they applied.

3 All right, so now I'm just going to present sort
4 of a summary of the results and, again, this was like an
5 average, averages across those six climate regions. So
6 for large office, we have large TDV savings and over 18
7 percent savings from the 2008, and the important thing
8 that is different about to date how we've done our
9 residential and nonresidential analysis is a whole
10 building metric, so that's 18 percent of the whole
11 building, so assumptions about non-regulated loads are in
12 the total energy consumption, and so that's a percent of
13 a very big number, basically, in comparison to the
14 residential when we've been doing our percentages based
15 on regulated loads, only.

16 So, in large offices -- the other thing is that,
17 you know, I don't want to over-extend these results
18 because, again, these were really based on those
19 prototype buildings, but I think they bound the results
20 rather nicely, so for a large office where you have those
21 prototypes of a high-rise office building with not a lot
22 of roof area compared to the floor area and the surface
23 area, cool roofs actually isn't zero, it's .1 percent,
24 but it's .1 percent of a very big number. So, when you
25 look at all the other savings, it doesn't look

1 significant, but it actually is saving a significant
2 amount of energy all by itself, it's just that lighting
3 and daylighting is overpowering the rest of the measures
4 in this sort of combined analysis.

5 So we are getting great significant savings from
6 the lighting controls and the daylighting controls in the
7 large office building, and I think that is what those of
8 you that have been participating in our lighting and
9 daylighting work have been expecting, and I guess we're
10 just confirming those results here. And our window
11 update is also very significant and, you know, part of
12 that is also daylighting because of the VT requirements
13 for our fenestration update.

14 And then, basically the air sealing is also
15 significant when you average the air sealing proposal
16 over those six climate regions, and Dave will talk more
17 about that next. And then, the cooling tower efficiency
18 is also another four percent of that total savings
19 number. So, anyway, you can see as we go through the
20 different prototypes that these pie charts change
21 significantly, so that's sort of the picture for a large
22 office. These are some of the details that you can look
23 at when you look at the presentation and we'll also post
24 the detailed spreadsheet that has more results.

25 MS. CHAPPELL: Cathy Chappell, Heschong Mahone

1 Group. Are these DOE 2 models or Energy Plus models? I
2 apologize --

3 MS. BROOK: They're Energy Plus models.

4 MS. CHAPPELL: They are Energy Plus models, okay.

5 MS. BROOK: Okay, so just to emphasize that, even
6 though you have some of those smaller percentages for air
7 sealing or for cool roofs, there is still a significant
8 amount of energy in that savings column, and so I don't
9 want people to misinterpret the results just because a
10 percent looks small, but in absolute it is a significant
11 amount of savings.

12 MR. MCHUGH: I just thought I'd ask a -- this is
13 Jon McHugh, McHugh Energy, clarifying question. So this
14 is for a single building model, right?

15 MS. BROOK: Yeah, the results are not weighted
16 and the average is also not weighted.

17 MR. MCHUGH: Right, and that single building
18 model had a chilled water system, right?

19 MS. BROOK: Uh huh.

20 MR. MCHUGH: So when we see four percent for
21 cooling towers, that's four percent of buildings that are
22 hydronically cooled, and so the actual statewide average
23 would be some kind of smaller number because something
24 like 40 percent or 30 percent of buildings have water
25 cooling.

1 MS. BROOK: Right.

2 MR. MCHUGH: Okay, thank you.

3 MS. BROOK: And we'll do that, the weighted
4 results, as part of our Impact Analysis Report, and we'll
5 be doing that work starting now through September.

6 MR. GABEL: Mike Gabel, Gabel Associates. Maybe
7 you can't answer this, it is maybe too detailed, but the
8 daylighting assumptions, did they include sort of the
9 window of VT assumptions and the new LPDs for the new
10 indoor lighting? I mean, did they start with the sort of
11 2013 projected other features or --

12 MS. BROOK: No, so each of those are sort of
13 isolated --

14 MR. GABEL: Okay.

15 MS. BROOK: -- so the VT would be in the window,
16 the fenestration run.

17 MR. GABEL: Right.

18 MS. BROOK: And the indoor lighting run would be
19 the LPD, where the LPD --

20 MR. GABEL: So, is the 2008 baseline assumptions
21 changing just the variables of each measure with respect
22 to the 2008 Standards?

23 MS. BROOK: Yes.

24 MR. GABEL: Thanks.

25 MR. SHIRAKH: For daylighting, we actually talked

1 about this quite a bit yesterday, the changes from 2008
2 are that there's a primary daylit zone and a secondary
3 daylit zone, and in 2008 the secondary was optional, and
4 now it's becoming mandatory, you have to control the
5 fixtures within that. And also, I think in 2008, there
6 were areas of 2,500 square feet or larger had to be
7 controlled and now it's dropping down to 250, so those
8 were the two biggest changes.

9 MR. MCHUGH: Uh huh.

10 MR. SHIRAKH: That's where you see --

11 MR. MCHUGH: Yeah, my comment was really having
12 to do with the fact, if you lowered the LPDs for offices
13 to start with, then the incremental improvement --

14 MR. SHIRAKH: That's captured under the LPD part
15 of it, that's part of the daylight.

16 MR. MCHUGH: Okay, thanks.

17 MS. BROOK: Okay, so the retail results are
18 overall almost a 15 percent savings at the whole building
19 level from 2008, and again, most of the -- of that 15
20 percent, over 60 percent is due to daylighting, and this
21 is predominantly because we increase the amount of
22 skylights that are required in the type of buildings that
23 a retail building falls under, so large roof areas and -
24 what are the requirements for skylights? It's like 15-
25 feet high?

1 MR. SHIRAKH: It is 8,000-square-foot under the
2 roof or larger, and 15 foot and higher ceiling, it has to
3 be within the day lit zone, at least 50 percent of it.
4 Is that correct, Jon? Fifty percent, yeah.

5 MS. BROOK: So you see here that, in the
6 prototypes, and this is where we expect even a lot of
7 smaller and medium sized offices to fall as far as, you
8 know, the relationship between roof area and floor area,
9 in this large retail building, cool roofs are very
10 significant as far as the contribution to the savings
11 over, you know, almost 15 percent, 13 percent for cool
12 roofs. And so, as we do our Impact Analysis, we're going
13 to see that this is one of our best measures across the
14 board because there are so many offices and other
15 building types that have that same type of relationship
16 between roof area and floor area.

17 And envelope sealing also is significant, and
18 single zone VAV for the HVAC systems, and then also
19 fenestration. So that's sort of how the picture looks
20 for the retail prototype. Mike.

21 MR. HODGSON: Mike Hodgson, Con-Sol. So, Martha,
22 where is the list of things you did to get to the 14.6
23 savings?

24 MS. BROOK: Oh, that is -- that's basically it
25 right there, sorry, I'm going in the wrong direction.

1 MR. HODGSON: This presentation is not yet
2 posted, correct?

3 MS. BROOK: No, it's not posted, we had to re-do
4 our baseline assumption last night because we had a bug
5 in it, and so that's why it's not posted. So this is
6 basically the list, cool roofs, air sealing,
7 fenestration, daylighting, and single zone --

8 MR. HODGSON: Right, but what did you do to cool
9 roofs to say you got 13 percent savings? You went from X
10 to Y.

11 MS. BROOK: Right, so we went from .55 to .67.

12 MR. HODGSON: And where is that listed?

13 MS. BROOK: So that's listed -- it's listed here,
14 but we didn't have time to list all those 2008 Standards,
15 but basically that's what the intent of this slide was,
16 and we can clarify that if it's unclear.

17 MR. HODGSON: The changes would be 2 through 10.

18 MS. BROOK: Yes.

19 MR. HODGSON: So, if I went to chiller
20 efficiency, you did from base to what on chiller
21 efficiency?

22 MS. BROOK: So, yes, I mean, there's a lot of
23 detail in every one of the measures, presentations that
24 we've already done, and we didn't have the ability to
25 condense that into one page here, but we can do that. We

1 can do that before we post this, and so that people can
2 understand the results better. So basically for the
3 chiller efficiency measure, we're basically adopting the
4 ASHRAE Standards.

5 MR. HODGSON: Okay. That would be really
6 helpful, okay, to be able to track this and explain it.
7 Thank you.

8 MS. BROOK: Uh huh. Okay, so then the warehouse
9 prototype and, again, just a caveat, this is not all
10 warehouses in the state, this is like the far end of
11 where we would go for Title 24, it's a warehouse that has
12 a very large portion of the space that doesn't provide
13 cooling, so typical of some warehouses, but not typical
14 of others. And you can see that the -- this is one where
15 we didn't even list the cool roof measure because, in
16 this prototype, cool roofs don't apply because it's not
17 trying to reduce the cooling load because the building is
18 largely not providing cooling, so that doesn't actually
19 measure into the savings here. Envelope sealing is a big
20 component of this, daylighting, again, and what's the
21 third piece? There's something wrong with this slide.
22 So, I apologize for this, so we're not actually seeing
23 where the 20 percent comes from because, at least I don't
24 see that color over here on my legend. So I think if we
25 go back to the other one, though, that's actually cool

1 roofs -- not, it's not cool roofs -- I don't know, I'll
2 clarify that at lunch and let you guys know. So one of
3 our legend bars dropped off on this chart and I didn't
4 notice it when I pasted this on. Do you think I can?
5 Oh, yeah, we can, next slide. So just overall, though,
6 we're not getting as much savings in warehouses, which is
7 no surprise since these buildings aren't -- at least this
8 prototype doesn't take advantage of all the benefits we
9 have for buildings that are cooled predominantly. So is
10 it the single zone VAV? Okay. Let's see, we have --
11 yeah, I'm sorry, so that 20 percent pie is the single
12 zone VAV, I think, but I will clarify that and report
13 back to you guys.

14 MR. CONTOYANNIS: Martha, can you hear me okay?
15 This is Dimitri from AEC. The single zone VAV gives a
16 little more description of what that measure is, it is a
17 VAV fan control and integrated economizers for the air
18 handling units, and that one had incremental savings of
19 about 2.5 percent on top of what you're showing there, so
20 I think there's definitely something going on with the
21 legend there, but that's what the last measure -

22 MS. BROOK: Okay, so that makes sense, 20 percent
23 of 8.7 would be around, yeah, so that -- thank you,
24 Dimitri. So we believe that to be single zone VAV and
25 we'll fix this slide before we post it. So do we have

1 any questions about this? That's really all we've done
2 to date, and if there is any recommendation for something
3 that is sort of broken about our approach, we'd
4 appreciate comments on that. We do expect to use this
5 sort of framework for our Impact Analysis Report, but,
6 again, then we'll do more prototypes, more climate zones,
7 and also develop the weight of expected construction
8 starts in the state across building types, and also look
9 at the impact of additions and alterations, as well.

10 MR. HODGSON: Mike Hodgson, Con-Sol. What I'm
11 really curious about is the daylighting analysis in
12 retail and any detail or who the consultant was, if they
13 have a report or something, that would be very helpful
14 because I heard bits and pieces of you and Mazi saying
15 things and I'm curious, it sounds like a lot of roof area
16 that you want to be daylighting, and knowing retail
17 structures, and whether that's typical, and the issues
18 with fire safety on roofs right now, I would like more
19 information as to what you're planning there.

20 MS. BROOK: Okay, so is your question more about
21 what our proposed measure is? Or that we modeled it
22 correctly?

23 MR. HODGSON: What you modeled, I'd like to
24 understand as to whether or not it fits within the retail
25 building and how we build retail buildings --

1 MS. BROOK: Okay.

2 MR. HODGSON: -- and then I presume the analysis
3 is done correctly, I'm not going to question that.

4 MS. BROOK: Okay, great. Thanks.

5 MR. SHIRAKH: Jon McHugh, you probably know more
6 about this daylighting than anyone else. So the
7 requirement would be what? Up to five percent of the
8 roof area has to be skylit?

9 MR. MCHUGH: Yes. Hi, this is Jon McHugh, McHugh
10 Energy. So, first off, there are certain types of
11 buildings that are retail buildings that the daylighting
12 applies to, so similar to the 2008 standards, this is for
13 building types where the ceiling height is 15 feet or
14 greater, so you know, there is a lot of retail spaces out
15 there that are essentially, whether they're big box or
16 not, they typically have open ceilings, they have higher
17 ceilings, those are the building types that this would
18 apply. There are a number of retail spaces that have
19 essentially suspended ceilings that are typically
20 fourteen feet --

21 MR. SHIRAKH: Jon, can you talk into the mic?

22 MR. MCHUGH: I'm sorry. So those buildings, so
23 this particular prototype, I assume, was a prototype with
24 a taller ceiling height. You go to other prototypes that
25 have the lower ceiling heights, you wouldn't see the

1 savings from daylighting, so, I think as Martha mentioned
2 earlier, you're going to have a broader variety of
3 prototypes in there, so some of those retail buildings
4 will not have that great daylighting savings, and the
5 ones that are essentially with the taller ceiling heights
6 will have the daylight savings. And the primary
7 difference between the proposal this time and what's
8 currently in the Standards, is that the requirement was
9 for 50 percent of the space in the building had to be in
10 the daylit zone under skylights and the new proposal is
11 that 75 percent of that space will be daylit, and there
12 was extensive work done by the Heschong Mahone Group
13 where they looked at a series of buildings to identify
14 were there any sort of feasibility issues.

15 And then also, to address what Mazi is talking
16 about, the requirements in terms of the amount of
17 skylight area, requires a minimum skylight area, or area
18 of skylights, of at least three percent of that daylit
19 area so, if you multiply the 75 percent times three
20 percent, you get about two percent of the roof area is
21 the minimum required. Now, the State also has
22 requirements that you can't put too much skylights in,
23 and that's at five percent, so the issue that there not
24 being enough roof area or things like that, you know,
25 we're basically following the same sort of limitations

1 that have been in the Standards since 1992 in terms of
2 the maximums. Thank you.

3 MR. SHIRAKH: Mike Hodgson, does that answer your
4 questions or --

5 MR. HODGSON: Mike Hodgson, Con-Sol. Now that we
6 kind of understand it, the question then becomes, what is
7 the impact of cooling, you know, we're looking at TDV
8 cooling savings with lighting, and then what are the
9 lumens on the floor in a retail space, thinking of a big
10 box, which is typically 60,000 square feet, about an 18
11 to 22 foot ceiling, you know, how does that work? And
12 then, where do we put our lights? So, you know, I'm sure
13 all that has been thought through, haven't seen the
14 analysis, would like to look at it just to understand it,
15 and then I think Jon brought up a very good point, there
16 are other issues of a maximum amount of skylight area
17 that is already in State Code. I heard five percent in
18 the presentation, and if that's what the Code is, then
19 I'm concerned about being right up against the maximum
20 code, then you have a minimum code, and that puts us in
21 an awkward position. But then I heard three percent,
22 which translated to two percent, so, again, we need to
23 understand what is being proposed and we don't get it
24 yet. Thanks.

25 MR. FLAMM: This is Gary Flamm. I just want to

1 interject one more cause of the savings, and I believe
2 it's the -- in the current Standards, the daylighting -
3 the lighting and the daylighting area has to be
4 segregated manually at 250-square-feet and automatically
5 at 2,500-square-feet, and so you need automatic controls
6 at 2,500-square-feet. So the automatic control
7 requirements are going down to 250-square-feet, so a lot
8 of these spaces now will no longer suffice just to have
9 mandatory isolated daylighting, they're going to require
10 automatic daylight control shedding, and so I think a lot
11 of the savings is attributed to that.

12 MS. CHAPPELL: Cathy Chappell, Heschong Mahone
13 Group. We have a draft case report that I believe was
14 submitted during the daylighting workshops that were held
15 in April and we did some analysis that includes
16 simulations, it includes load impacts and so forth on
17 cooling, and we'll make sure that you get a copy and that
18 we send one to the Energy Commission and get it posted.

19 MR. SHIRAKH: Are you going to email that to me?

20 MS. CHAPPELL: Yeah.

21 MR. SHIRAKH: Thank you. Jon.

22 MR. MCHUGH: Just one last comment at cooling
23 impacts. So the luminous efficacy of sunlight is around
24 100 lumens per watt and, actually, if you filter it
25 through a skylight, you actually get about 120 lumens per

1 watt because, actually, there is more visible light
2 transmittance than there is solar heat gain coefficient
3 through skylights. So you're comparing your electric
4 lighting source that is somewhere around 80 lumens per
5 watt vs. 120, and that's why you can, as long as you're
6 essentially hitting your lighting target, you end up with
7 a cooling load reduction with daylighting.

8 MR. CONTOYANNIS: This is Dimitri Contoyannis at
9 AC. I would also like to add that, in addition to the
10 tables that Martha just presented, there is a more
11 detailed spreadsheet that goes along with that, which
12 will be posted, and it includes the breakdown by end use
13 of energy consumption, and you'll see it kind of confirm
14 what others are saying, that the cooling energy does
15 indeed reduce, based on the daylighting measure and you
16 can see it is actually fairly significant in some climate
17 zones, so I would definitely refer you to that as you are
18 reviewing the analysis.

19 MS. BROOK: Thank you.

20 MR. SHIRAKH: Thanks, Dimitri. Any other
21 questions related to this integrated measure analysis, in
22 the room or online? Okay -

23 STAFF: Here is a comment from Richard Lord from
24 Carrier.

25 MR. SHIRAKH: Please, go ahead.

1 STAFF: It says: "Just to let you know, we have
2 found some significant issues with the Taylor Engineering
3 proposal on single zone VAV and we believe the energy
4 savings are significantly overstated, as well as the
5 costs have been extrapolated beyond what AHRI-based --

6 MR. LORD: Actually, I'm online, so I don't know
7 if I can be unmuted. Can you guys hear me?

8 MS. BROOK: Yeah, go ahead.

9 MR. LORD: We're doing further studies on that
10 and hopefully we'll have them done in the next few weeks,
11 and I'll submit them to you guys, as well as to Jeff
12 Stein.

13 MS. BROOK: Okay, as early as possible?

14 MR. LORD: Yep, trying to get it done as quickly
15 as we can. I understand.

16 MS. BROOK: Great. Thank you very much.

17 MR. SHIRAKH: Thank you. Any other questions?
18 All right, so why don't we move to the next topic, which
19 is Air Sealing. And Dave Ware is going to present that
20 one. I want to take this opportunity, we have another
21 workshop coming up on Tuesday, the 23rd, that's going to
22 be mostly residential topics. We have developed an
23 agenda, I think I emailed it, the draft, to the team, and
24 we'll be posting that pretty soon. Later this afternoon,
25 I'll probably present that agenda for those who are

1 interested in attending. We'll be talking about the
2 series of compliance options for photovoltaics, for solar
3 tradeoffs, we'll be talking about the refrigerator charge
4 procedures, and so forth. Ready, Dave? Okay.

5 MR. WARE: I'm Dave Ware with CEC staff. I'm
6 going to provide an overview and a general discussion of
7 where we are going with the air sealing proposal related
8 to non-residential buildings.

9 On June 10th of this year, Architectural Energy
10 Corporation provided a general summary of the analytical
11 approach that they were working on in support of the
12 activity for air sealing and air and filtration control
13 of nonresidential buildings. One of the reasons why we
14 are looking at this is because there has been
15 considerable work both at the national level at research
16 institutes and by individual consultants and
17 manufacturers, as well, trying to better capture the air
18 leakage effects from both infiltration and ex-filtration
19 of nonresidential buildings. And it is a fairly
20 complicated issue because of the various types of skins
21 that are used on buildings and the various kinds of
22 nonresidential building types that are used within the
23 state and, of course, throughout the country. There has
24 been a lot of studies that have quantified the general
25 amount, the average amount, that air and filtration

1 contributes to heating loads in nonresidential buildings,
2 and there's been quite a few studies by NIST and others,
3 now, looking at a number of buildings throughout the
4 country and trying to get on aggregate what is about the
5 average air and filtration rate that is used, and
6 actually the rate that you see down at the bottom, 1.5
7 CFM per square foot, is fairly representative of what the
8 ASHRAE baseline - ASHRAE 90.1 -- baseline air and
9 filtration rate is, and which we assume in our modeling
10 programs, as well. It's fairly close, surprisingly.
11 There's been considerable action throughout the country
12 in adopting of air and filtration standards. A number of
13 states have already been in the forefront of fairly
14 progressive standards, and there are both national
15 reference standards and codes, as well, for which we here
16 in California can use as a baseline for setting a
17 platform for a standard going forward. ASHRAE 90.1 and
18 ASHRAE 189 have both been in the forefront of these and
19 project committees at ASHRAE, in particular, has been
20 extremely helpful in the development and coalescing
21 stakeholders in the development of the IECC new standard
22 that has gone forward.

23 One of the largest databases that is out there
24 related to actual performance, blower door kind of
25 testing results of nonresidential buildings by the Army

1 Corps of Engineers, and anyone can go online and look up
2 retail, look up hotel/motel kind of occupancies, high-
3 rise from the Army Corps of Engineers, and they have a
4 database of at least 5,000 to 8,000 buildings, and it's
5 growing daily.

6 One of the things that is interesting in the
7 context of California's 2013 revision process is the
8 activity that was just recently approved at IECC, an air
9 barrier requirement was adopted for the 2012 IECC
10 Commercial Standards, it was based on the ASHRAE 90.1
11 Addendum requirements, but it really only applies to
12 climate zones 4, 5, and 6 of the IECC climate zones. So
13 that doesn't really -- and basically the 4, 5, and 6
14 categories of the IECC ASHRAE climate zones are in the
15 colder climate areas of California. So, one of our
16 objectives was trying to identify whether, because of
17 some of the modeling differences that we have in the
18 Title 24 compliance procedures, whether that would make
19 -- the schedules are different and things of that sort --
20 whether that would drive the potential savings of air and
21 filtration control for nonresidential buildings any
22 different than what the ASHRAE climate zone requirement
23 would dictate.

24 So the infiltration rate that is required by IECC
25 and ASHRAE is .4 CFM per square foot at a pressure

1 differential of .3 water gauge, and so when we use that
2 as a target in our own modeling, we have to compare that
3 against the baseline. What we're trying to do is
4 basically see if there are any benefits to air leakage
5 controls over and above what the IECC's climate
6 requirements would dictate here in California. The
7 nonresidential ACM manual currently assumes that, when
8 there is conditioning, depending upon the load of the
9 building, 100 percent of the air and filtration is made
10 up by conditioned air, so essentially there is no
11 infiltration degradation impacts assumed in our current
12 ACM process; however, the PNNL work that went into both
13 supporting ASHRAE and the IECC's development of the 2012
14 Code uses different assumptions. So we, Architectural
15 Energy Corporation, used that as a baseline for the
16 analytical approach that we used, that report is, I
17 believe, posted online and, as I mentioned earlier, on
18 June 10th, we provided an overview generally of the kinds
19 of structure that was going to be taken to do the
20 analytical portion of the analysis.

21 Three things really are affecting our analysis
22 and that is building height, wind speed assumptions, and
23 temperature across the climate zones. This was provided
24 last time, on June 10th, but I think it's useful just to
25 illustrate the potential savings, or the potential

1 reduction in heating and cooling loads that can be
2 achieved when there is a reduction in air and filtration
3 from various kinds of potential requirements.

4 The graph on the left is basically looking at
5 current assumptions based on floor sizes and whether
6 there is a plenum in the building, and the graph on the
7 right is the potential reduction in load due to a stack
8 effect when you are controlling your air infiltration and
9 leakage. Six climate zones were analyzed, the same
10 climate zones as Martha expressed earlier. In the
11 proposed building, they looked at an air leakage rate, a
12 reduced air leakage rate, of .4 CFM per square foot, and
13 one of the things that we are still completing is looking
14 at the cost-effectiveness and feasibility of certain
15 kinds of measures that can be used to reduce air leakage.

16 The report that is posted online looks at three
17 types of office buildings, small, medium, and large. As
18 Martha explained earlier, there are potential savings
19 that accrue in almost each of the climate zones,
20 depending on building type and the effects of stack and
21 other things related to that building. While the
22 percentage savings looks small, the actual savings for
23 the incremental measure are fairly large across the
24 state. We have a question.

25 MR. EILERT: Hi Dave. Could you just explain how

1 you get a stack effect in 12-story office building?

2 MS. BROOK: That is Pat Eilert asking.

3 MR. EILERT: I mean, how does it work, basically?

4 MR. WARE: Well, every building has a different -
5 I don't know if Dimitri is still on the line, he might
6 explain how the modeling, the details of the modeling,
7 that was done. But the analysis showed -- let me go back
8 a slide -

9 MR. EILERT: Dave, I'm saying this is between
10 floors or --

11 MR. WARE: Between floors and plenums and
12 stairwells, there is a greater stack -- the stack has a
13 greater impact based on wind speed and the dynamics of
14 the building, and the skins that were assumed on the
15 outside of the building. So there is greater leakage
16 associated with higher buildings, you might say, but it's
17 a function of temperature, as well. Is that making
18 sense, Pat?

19 MS. BROOK: I think Pat's question is where does
20 the pressure differential come from if there are
21 individual floors, because there are leaks in between the
22 floors, or there are plenum and other things that are --

23 MR. WARE: There is leaks between the floors,
24 whether there are elevators, whether there's plenums,
25 there are open spaces. And so you're getting a pressure

1 difference between the top and the bottom and so that was
2 -- and the program deals with those stack and looks at
3 the effect of air leakage across building height.

4 MR. CONTOYANNIS: This is Dimitri from AEC. You
5 know, in the report that is posted, along with the other
6 materials for this workshop, we go through the
7 methodology of how we modeled the stack effect, and
8 essentially I think the key driver here is the variation
9 in wind speed as you move up the building, you know, the
10 wind speed near the ground floor vs. the wind speed at
11 the top floor are going to be quite different, and you
12 know, there are a number of reports that we based our
13 analysis on, including one by PNNL and a handful of
14 methodologies described in the ASHRAE handbooks, which
15 talk about how the wind speed varies, and ultimately
16 we've correlated that to infiltration rates at different
17 floors of the building. Now, the stack effect in terms
18 of air movement from floor to floor, that's a much more
19 difficult thing to model in energy cost without doing
20 detailed bulk air flow analysis. So, we haven't modeled
21 it to that level, it's really the key driver of differing
22 infiltration rates from floor to floor, based on wind
23 speed at different floors. So I would ask you to take a
24 look at it, it's in the first couple of pages of the
25 report that's been posted, and they describe the

1 methodology in quite a bit of detail. So if you have any
2 follow-up questions, by all means, feel free to contact
3 us.

4 MS. BROOK: Thank you.

5 MR. WARE: If we look at the savings, so moving
6 forward here, the analysis that AEC first did showed
7 savings across the various six climate zones based upon
8 the office building prototypes that they initially ran
9 the analysis for. And, again, the savings actual
10 percentage numbers in the middle column is a function of
11 the building size and certainly the climate dynamics that
12 were looked at. The latest analysis that AEC has done in
13 the integrated analysis for which Martha had slides up
14 earlier, I pulled out just the air leakage TDV savings
15 from those across those same six climate zones, and
16 plotted them so you could see the potential savings.
17 Again, in this set of analysis, they looked at a large
18 office, basically a 12-story office retail building and a
19 warehouse building, so the dynamics of the building were
20 a little bit different in the stack, and the temperatures
21 were the same across the climate zones, but the stack
22 dynamics were slightly different in this analysis, but,
23 again, we're showing savings across those six climate
24 zones that were looked at.

25 MS. CHAPPELL: Cathy Chappell, Heschong Mahone

1 Group. So these six climate zones on this graph are the
2 ones that were used in the relevant roll-up analysis, but
3 if you go back one slide, there were different climate
4 zones listed --

5 MS. BROOK: Yeah, they are slightly different.

6 MS. CHAPPELL: Were they mapped to each other?

7 MS. BROOK: No, there was never any intent to
8 make them the same. We did the air sealing measure
9 analysis first, and when we were thinking about how to
10 bound and select regions for the integrated analysis, we
11 revisited the heating and the cooling degree days to make
12 sure we had a really better representation. So there's
13 not a big difference, like six goes to seven, and --

14 MS. CHAPPELL: Oh, yeah, yeah, okay, but these
15 numbers in this table weren't used in your analysis, they
16 were re-run.

17 MS. BROOK: Right.

18 MR. WARE: Correct.

19 MS. CHAPPELL: Okay.

20 MS. BROOK: The other thing I'd like to note on
21 the next slide is that, even though the percent
22 difference is smaller in a large office, the actual
23 number of TDV savings is undoubtedly larger because the
24 overall TDV for offices dwarfs that for retail or
25 warehouses, and in just absolute energy. So it's still a

1 big number of TDV savings, it's just that it's a percent
2 of a much bigger number.

3 MR. WARE: And Cathy, in response to you, as
4 well, adding on to Martha's comment, what we wanted to do
5 was ensure that the air leakage analysis was consistent
6 with the overall integrated analysis, and we didn't
7 necessarily want to present two different things, and so,
8 while the initial analysis looked at a slightly different
9 set of climate zones, very similar, however, and the
10 building prototypes were somewhat similar, they were a
11 little bit different, overall savings trends are about
12 the same. So this, AEC's analysis related to this
13 activity on air infiltration control measures is a little
14 bit more robust now, and then captures all the other
15 things related to the integrated analysis. So, that's
16 essentially what this table is presenting.

17 So going forward, what we intend to do is
18 continue to refine the analysis and the cost-
19 effectiveness approach, look at the effects of air
20 leakage control measures across all 16 climate zones,
21 instead of the subset. We will look a little bit deeper
22 into building height and building type prototypes to see
23 what are some major drivers in air leakage control for
24 the nonresidential sector of construction, and so, from a
25 compliance requirement air barrier control, we're really

1 looking at three things, and really it's falling in line
2 with both ASHRAE and the IECC's recent adoption of Code,
3 and Seattle's Energy Code, Washington State's Energy
4 Codes, we're looking at requirements that affect
5 materials, some requirements that affect assemblies and
6 building testing, which is essentially the performance
7 air leakage rate testing.

8 So the proposal going forward, staff proposal, is
9 to limit air leakage through a requirement for continuous
10 air barrier. Those of you who have been following other
11 activities that staff has been involved in might note
12 that there was a recent activity related to open cell
13 spray foam and, in staff's package of proposed revised -
14 proposed QII, Quality Insulation and Inspection Control
15 Measures, there was a definition of an air barrier in
16 there, which currently lacks in both the Standards and is
17 lacking in the QII procedure. So our intent is to
18 embellish upon that air barrier definition and provide it
19 into the standards. Compliance alternatives related to,
20 then, that requirement would affect materials and the use
21 of ASTM E2178, and like ASTM standards for testing of
22 materials, and verifying materials meet a particular air
23 leakage rate, and air permeance, there would also be an
24 assembly test similar to ASTM E2357. Both of these tests
25 are also referenced in other Codes, ASHRAE and the 2012

1 IECC, and then the building testing and performance
2 rating would be set at the .4 CMF per square foot level.
3 Basically from an enforcement standpoint, then, that
4 means that you would have three different types of
5 alternatives that would occur in the field. There would
6 be, on your upper left a materials kind of verification
7 by the site inspector. If that approach was used down on
8 the lower bottom, there could be an assembly test and
9 both of those would be supported by test reports or ICCES
10 Reports, and manufacturer specification sheets and things
11 of that sort, or for particular building types, the
12 designer or architect might decide to use performance
13 testing. Any other comments? That concludes the general
14 overview of the air and filtration proposal, where we are
15 now. Anything I can add? Mike.

16 MR. GABEL: Mike Gabel, Gabel & Associates. So
17 going back several slides, I noticed in the really mild
18 climate zones, 3 and 6, there was from negative savings
19 and those are the climate zones which have very little
20 heating. Would staff proposal consider omitting these
21 new requirements in certain climate zones for certain
22 building types? Or have you guys gone that far in
23 thinking that through?

24 MR. WARE: The short answer is yes. The longer
25 answer is, what we want to do is look at a few more

1 prototypes. We want to look at all the climate zones,
2 but some of the analysis is implying that the benefit or
3 the expense of an air and filtration requirement may not
4 be warranted in particular climate zones, or for certain
5 building types, so we're trying to flesh that out a
6 little bit more.

7 MR. GABEL: Okay, thanks.

8 MR. CONTOYANNIS: This is Dimitri from AEC. I'd
9 just like to make one point, too, about the results shown
10 here. These are all TDV savings and, you know, as Dave
11 mentioned at the beginning of this discussion, a lot of
12 the savings from air and filtration reduction is heating
13 energy savings, which doesn't have as strong an impact on
14 TDV savings as electricity savings because it's often
15 natural gas. So, you know, again, in the report that are
16 some additional details of the simulation results which
17 break down the energy savings, as well as the TDV
18 savings, both in terms of electric savings and gas
19 savings. So, when you look at the actual energy savings,
20 not counting TDV, in every climate zone there is savings
21 shown in terms of site energy. What we're seeing here on
22 this slide is TDV savings where, you know, because of the
23 weighting of electricity savings, there are indeed a few
24 climate zones that are slightly negative, so hopefully
25 that gives you a little bit more insight into the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 results.

2 MR. SHIRAKH: Thanks, Dimitri.

3 MR. HODGSON: Mike Hodgson, Con-Sol. I'd like to
4 compliment the study on getting those results in Table 1
5 and Table 2, that was published on the website so that we
6 could understand some of the building infiltration
7 results. But I have a request that, we're talking about
8 small, medium and large office buildings, and they're not
9 defined, and so, in that report, if you could add kind of
10 a description and then how it relates to the prototypes
11 that Martha was talking about earlier, it would really
12 help us understand the results a little bit better.

13 MS. BROOK: Okay, yeah, and we can actually post
14 all of the - PNNL has a report on all the DOE reference
15 buildings and these are the same reference buildings, so
16 we can post that.

17 MR. HODGSON: That would be helpful, too, if you
18 could point to that direction with in the report, so that
19 we could tie that together.

20 MS. BROOK: Okay.

21 MR. HODGSON: Thank you.

22 MR. GARCIA: Hello, this is Tom Garcia
23 representing CALBO and I just wanted to make one comment
24 again, it's kind of the continuous comment, as we look at
25 this air infiltration and options, and so forth, we need

1 to make sure that we keep the complexities clear and
2 clean in the language, and so I'm curious when we would
3 see some of the actual language that would be proposed,
4 that we could review?

5 MS. BROOK: I'm guessing that's probably a couple
6 weeks away. On this slide that Dave showed where there
7 was definitely different compliance options, would you
8 support having those multiple options?

9 MR. GARCIA: Yes, I would, but again, we just
10 want to make it very clear as to building size and where
11 -- and not having something that we're going to get
12 crossing over and people misinterpreting.

13 MS. BROOK: Right, so my best guess is that, and
14 Dave can bonk me over the head, but I would guess we'd be
15 about three weeks away from actually having draft Code
16 language.

17 MR. SHIRAKH: Any other questions related to air
18 sealing? Not online? Well, we're in a position where
19 we're actually ahead of schedule. And Jim Benya is
20 driving here -- he's here?

21 MS. BROOK: Why don't we take a five or 10-minute
22 break?

23 MR. SHIRAKH: Well, actually, what I'd like to do
24 is show you the agenda for Tuesday.

25 (Recess at 10:20 a.m.)

1 (Reconvene at 10:21 a.m.)

2 MR. SHIRAKH: This is the agenda for next
3 Tuesday, which is going to be our last staff workshop.
4 This is going to be largely residential topics and in the
5 morning, we're going to be talking about compliance
6 options for integrating photovoltaics into the Building
7 Standards. And there's some interesting, basically using
8 renewables to meet some of the requirements of the
9 Standards, so that would be the topic. After that, we'll
10 be talking about residential compliance options for
11 builders and appliances. And then we'll be talking about
12 the residential indoor ventilation requirements. In the
13 afternoon, we'll be talking about refrigerant and charge
14 -- I'm sorry, in the morning will be refrigerant charge
15 at 10:45, then we'll break for lunch and, after lunch,
16 we'll be talking about mechanical ventilation for
17 residential units. And at 1:15, we'll be talking about
18 administrative changes to Sections 10-103 to 10-14. Tom
19 Garcia, you would probably be interested in those topics,
20 that's where we're going to talk about all the changes.
21 We're also going to actually be restructuring the
22 Standards, the numbering system is going to change,
23 mostly because we're actually running out of sections,
24 you know, sections 110 through 119 around tech, and 140
25 to 149, we're introducing new sections and we need to

1 find homes for it so that the structure of the Standards
2 are going to change, the numbering system. So we'll be
3 talking about that, and also -- we've already talked
4 about the package D is going to become Package A and all
5 the alternatives are going to follow, so we'll talk about
6 that, and also possibly the forms are going to change,
7 the name of the forms. So there will be a discussion on
8 that and I'll be interested in hearing what CBIA and Con-
9 Sol and the Building Departments have to say about that,
10 and before we actually embark on this. And then we'll be
11 talking about the REACH Standards at the end of the day.
12 So that would be the agenda for Tuesday. Mike.

13 MR. HODGSON: Yeah, Mike Hodgson, Con-Sol, would
14 you explain the 10:00 a.m. presentation on builder
15 supplied appliances?

16 MS. BROOK: So we heard at the IEPR workshop that
17 there was some interest in exploring whether or not there
18 could be compliance tradeoffs between efficiency measures
19 and builder supplied appliances, so for example, if a
20 builder provided an Energy Star dishwasher, or whatever,
21 then the differential between a baseline dishwasher and
22 an efficient dishwasher could be used to meet the energy
23 budget in a performance approach. But to be honest with
24 you, we're not sure how much there is there, so that's
25 what we'll talk about.

1 MR. SHIRAKH: Okay, so Jim Benya is here, so
2 we're going to resume our presentation and he's going to
3 be talking about electric car power distribution system
4 and nonresidential buildings. Hey, Jim, how you doing?

5 MR. BENYA: Hi, Mazi, how are you? Thank you.
6 Good morning, everyone. My name is Jim Benya. I'm a
7 member of the Architectural Energy Corporation team
8 supporting the Standards Development process and I'm here
9 this morning to present a new section that we have
10 conceived to the Standards, temporarily at least numbered
11 135, I guess that may change in the future.

12 The principal title of this is Things Having to
13 do with Electrical Distribution Systems, and as you'll
14 see in a second, there is just a little tiny bit of
15 lighting stuff in this, but some other proposals that
16 have been made over the course of the last several
17 months, going back to our April 4th hearing, we migrated
18 into this section so that we could capture this slightly
19 different topic area. So the purpose of the proposed
20 measure, and by "measure," I mean this section, is to
21 provide these required provisions in a building's
22 electrical distribution system that will ensure
23 relatively easy implementation of advanced metering
24 control, including Demand Response in the Smart Grid.
25 We're, in fact, looking forward to a future in electrical

1 distribution in buildings where it will be able to be
2 intelligently connected to everything in the outside
3 world and all the future measures that we're likely to
4 see. So, you could say most of this proposal is to
5 capture a future proofing opportunity that bears very
6 little cost to the developer and builder of buildings,
7 but it gets us prepared for what we think is going to be
8 coming.

9 We have some precedent in going into this area.
10 ASHRAE IES 90.1, ASHRAE IES USGBC 189.1, IECC 2009, and
11 even the California Electrical Code 2010 bear relevance
12 to this material. So we didn't kind of invent this idea
13 as much as we borrowed the notion that we should have a
14 section like this from other Standards.

15 Here are the proposed requirements, and this is
16 not the Code language that has been proposed, this is a
17 summary of it, Code language will be available in a Case
18 Report that has been submitted, and you can take a look
19 at it in detail. There are six major points, Point 1 or
20 A, as listed here, it requires the addition of energy
21 read-outs to the metering of services. These
22 requirements are progressive, with simple metering
23 provisions up to services of about 250 KVA, larger
24 services would require some additional logging
25 capabilities. And these are basically improvements to

1 the meters provided by the utility company, although they
2 could also be independent of that. The idea is that the
3 owner of a building should be able to go to the meter and
4 see how much energy they're using relatively easily. So
5 this, I've already seen installed in meters already from
6 the California utilities, and this is not a big deal. I
7 don't see any significant cost related to this. We'll
8 talk more about that in a second; b) disaggregating the
9 load types in an electrical system such that major load
10 types can be easily measured at a single point. The
11 actual measuring equipment is not required. This is very
12 important because we see a future where someone is going
13 to ask their building management system, "How much energy
14 did my lighting use last month, last week?" "How much
15 energy did my plug load system, my HVAC, how much did
16 they use in a period? Or how much are they using right
17 now? How might we manage it better?" If you wire a
18 building in a particular way, this is easily done. The
19 points are easily identified, metering equipment is
20 easily and inexpensively measured, and everything works
21 great. If it isn't done this way, then you end up with a
22 much more costly installation in terms of measuring
23 equipment that might cause some sort of action to occur,
24 so I've already done this in a number of projects in
25 which I've worked, there was literally no cost impact,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 but we know doggone well that the measuring capabilities
2 later will be important; Point c) feeders to have no
3 greater than two percent voltage drop, and branch
4 circuits do not have more than three percent voltage
5 drop. This is as recommended by California's Electrical
6 Code 2010, and of course, the National Electrical Code
7 from which the California Electrical Code is based; Point
8 D) Automatic shutoff of about half of all receptacles in
9 offices and related spaces to save energy. This is a
10 cost impact and we'll talk more about that in a second.
11 But it's migrating our philosophy of turning lights off
12 when they're not needed to turning off some of the
13 receptacles, as well, for loads that can be shut off when
14 people aren't present and don't need them; Point E) all
15 buildings to be enabled to receive and act upon Demand
16 Response signals. At this point, it's a fairly modest
17 proposal, this was actually put forth previously by case
18 reports presented at the April 4th meeting that we had
19 here, and so this is not new to the process, but we have
20 moved it into this section; Point F) building automation
21 systems that are allowed to provide required control
22 functions of several sections. This was added more or
23 less to clarify the fact that many of the requirements we
24 have, not only in lighting, but in other sections,
25 specify certain types of controls, and it's been, I think

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 I can speak for myself, anyway, over the years that we've
2 worked on the Standard, we've tried to anticipate the
3 lower class of buildings that are simpler and many of the
4 lighting controls, at least, have been done by devices
5 and components, rather than systems. We've never really
6 made it clear the building automation systems would
7 actually be a very welcome improvement to that, so this
8 has been added for that reason. The type of changes,
9 first of all, it adds mandatory measures. These aren't
10 optional, these aren't prescriptive, and you don't have
11 any choices, you have to do them. It would slightly
12 increase the scope or direction of the current standards.
13 We've never regulated electrical distribution before,
14 this would be the first time. It would not require the
15 implementation of systems or equipment that are not
16 already readily available on the market and for use in
17 the proposed applications. For example, the electrical
18 systems are already considered to be good practice in
19 electrical construction. Some of these systems are
20 already regulated and included in the current Standards,
21 this would relate more to the means by which we do the
22 automatic shut-off.

23 The Standards manuals would be modified in order
24 to include the new requirements, the change would require
25 this new Section 135. Parts A, B, E and F don't really

1 directly save energy; Part C saves energy by preventing
2 voltage drop in feeders and branch circuits. Voltage
3 drop is direct energy lost as heat, so anything we can do
4 to minimize it is good. Part D of the measure saves
5 energy by shutting off receptacle circuits when the space
6 is unoccupied. We think this is actually going to have
7 some pretty significant energy savings we'll talk about
8 in a minute.

9 The non Energy Benefits of A, B, E, and F require
10 basic construction, enabling the addition of controlled
11 measurement technologies as in the future their cost-
12 effectiveness improves, and as the need for control
13 measurement becomes important due to Demand Response,
14 time of use rates, and other functions of the future
15 Smart Grid. I think the California utilities already
16 have an idea what the Smart Grid might look like, but I
17 think, from a practical standpoint, nobody knows exactly
18 what it's going to look like, or how it's going to be
19 implemented. We strongly believe that these measures A,
20 B, E, and F, future proof the project without adding in
21 any significant cost, but there would be significant cost
22 later to the building owner if these were not taken care
23 of in the first place.

24 The cost of the measures, the metering
25 requirements, we believe, this is at the service, now,

1 little or no cost impact because most meters in
2 commercial applications already do these things; all
3 we're doing is we're making sure that, if the service is
4 large enough, that the customer can also get a little bit
5 more information such as how much energy did I use last
6 month, or how much energy did I use for a certain sample
7 period that I defined, a week, or a month, and this is
8 easily done with today's metering technology.

9 The disaggregated wiring method, like I said, is
10 already considered to be good practice. One of the
11 points made in the case report is that the requirements
12 with disaggregated wiring is progressive; that is, in
13 other words, as the building gets bigger and the loads
14 get bigger, the more requirements are involved. I've
15 chosen 25 KVA as sort of a minimum step level at which we
16 change the requirements, so, for example, we do require
17 you at some level to measure receptacle and plug load use
18 separate from lighting use, but the chunks are 25 KVA
19 chunks, which represent 100 AMP three-phase panel. We
20 think that's a large enough chunk that it will have no
21 significant cost impact to the project, it's just a
22 different way of doing things.

23 Voltage drop requirements are already considered
24 to be good practice. I think the primary reason why we'd
25 like to put them in the Standard is to prevent future

1 practices where people might cheat on the feeders and
2 branch circuits, and use smaller wire, or use aluminum
3 instead of copper, or other things that would increase
4 the voltage drop, still meeting the California Electrical
5 Code, but no longer considered to be good practice by the
6 Code. This prevents them from not doing bad practice.

7 The auto receptacle shut-off, I believe, is going
8 to add somewhere in the neighborhood of \$.25 to \$.50 a
9 square foot, this is only for office buildings and
10 related occupancy, so you have an office in another
11 building type, it does apply to the office, but it
12 doesn't apply to the other building type. It's going to
13 add a little bit of cost, and that is actually -- there
14 are case studies that were previously submitted on that,
15 and the DR provisions, as well, from the April 4th
16 meeting, and the references to those are in the case
17 report, so you can go back and look at what research was
18 done.

19 In the case of the task lighting and plug load
20 control, HMG developed a very specific one that I've
21 reviewed, it does prove cost-effectiveness, and I've also
22 tested it my own way, and it still is cost-effective.

23 The DR provisions were reported both by HMG and
24 LBNL, in reports for that hearing, and both proved cost-
25 effectiveness for the DR provisions.

1 Finally, the use of building automation systems
2 energy management systems is already considered to be
3 good practice, to allow them is simply to clarify the
4 intent of the Standards to make that happen. I may not
5 totally understand all the background behind that one,
6 that came from staff and if Gary or Mazi would like to
7 explain that a little bit more, if you have questions, we
8 can do that. This, in particular, I focused for a few
9 minutes in this presentation on the receptacle automatic
10 shut-off because this is a significant change that is
11 going to incur some costs on projects. At the April 4th
12 hearing, again, here is the reference to the paper
13 developed by HMG for the California IOUs, it's pretty
14 solid stuff. What I did is I also said that 2007-2008, I
15 developed a report for Southern California Edison, for
16 the Office of the Future Project, which is still ongoing.
17 The Phase I pilot, which was essentially a pilot study
18 that Nancy Clinton and I did, found some very interesting
19 things out about office buildings, and what people are
20 using that is plugged in, and it was kind of fun and
21 surprising. Using the values that I found in a survey of
22 like 16 buildings from Sacramento, down to Southern
23 California, this type of receptacle switching would have
24 enormous energy savings. It would be saving on - the
25 payback period for the installation would be on the order

1 of nine months if we consistently found the types of
2 loads we found in that pilot study. Assuming for a
3 moment that that was too small of a sample group, and
4 that my conclusions are way off, even if my conclusions
5 were off by 90 percent, the payback period would still be
6 five years, and that beats the statutory requirements.
7 So I believe that, no matter how you look at it, this is
8 a very cost-effective solution, and one of the reasons,
9 of course, is because you can use the same sensor that
10 turns the lights on and off can be used to turn the
11 receptacles on and off by the addition of a relay. So,
12 for many reasons, this is a really good idea and I'm glad
13 we're finally getting it into the Standards.

14 A few exceptions were required, a few specific
15 things need to be said. First of all, it requires hard
16 wired shut-off circuits, not portable ones, and there's
17 an exception if a motion controlled plug strip is
18 permitted, and it is permitted if you install it as part
19 of a furniture system installation. There are some very
20 good products on the marketplace that do this, and we
21 didn't want to discourage people from using them, so
22 there is that one exception. Receptacles have to be
23 marked so that there's a different color, or a different
24 way of identifying those that are controlled from those
25 that are not, and there's a lot of things you don't want

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 to control at your desk, like your base computer, for
2 example, you don't want that being turned off when you're
3 not at your desk, you may lose data. But you may want to
4 turn off other things such as task lights that are needed
5 when you're away. Split receptacles allow the wiring to
6 be proceeded so that the top receptacle could be
7 controlled and the bottom receptacle would not be
8 controlled, that sort of thing. Again, it's only
9 required for offices and related space types, you're not
10 required to do this for any other space types. There are
11 also specific exceptions for outlays having a specific
12 purpose, network appliances such as network copiers,
13 network printers, etc., shared by a number of people, do
14 not have to be automatically shut off. Appliances,
15 kitchen refrigerators, etc. do not have to be shut off,
16 as well.

17 So, in summary, Section 135 adds new
18 requirements, it increases the scope, but it's consistent
19 with other Energy Codes and Electrical Codes and I think
20 its strongest point, other than savings energy with
21 receptacles, is it prepares buildings for the future at a
22 minimum cost, later, and now, as well. That's a summary
23 of Section 135. Do we have any questions? Or comments?

24 MR. SHIRAKH: Jon.

25 MR. MCHUGH: Jon McHugh, McHugh Energy. So just

1 to go back to the California Electrical Code, currently
2 the Code has a recommendation and not a requirement for
3 the voltage drop for feeders and branch circuits?

4 MR. BENYA: That's correct. It's stated in a
5 fine print note in the Code, this is the National
6 Electrical Code, adopted by the State in the 2010
7 California Electrical Code, and it's been a fine print
8 note for a long time, it's not an absolute requirement.
9 And there's a good reason for that. Many times,
10 buildings could arguably because they might use energy in
11 bursts, or there's particular loads where it doesn't
12 matter, where you could save a little bit of money, but
13 that was then. I think it's time to make it a
14 requirement from an energy perspective because, if you
15 allow, again, every percent of voltage drop represents a
16 lot of energy. You know, we go to a lot of trouble to
17 regulate .1 watt per square foot in various spaces and
18 lighting, this could easily account to that if it were a
19 relatively large feeder.

20 MR. MCHUGH: And from an implementation point of
21 view, is there trade-off -- do you feel it is more
22 desirable to have it in Title 24, you know, Part 6, as
23 opposed to in the California Electrical Code? I mean,
24 what would be the tradeoffs between placing it in Part 6
25 vs. the Electrical Code, which has essentially a broader

1 application?

2 MR. BENYA: Electrical Code, Part 3 --

3 MR. MCHUGH: Something like that, it's part 3 or
4 whatever, yeah.

5 MR. BENYA: Yeah, in my opinion, this is a
6 jurisdiction question, electrical systems are generally
7 not harmed by five percent aggregate voltage drop or
8 more, but energy is lost. And so I think it is
9 appropriate for it to be in this part of Title 24, rather
10 than that part.

11 MR. MCHUGH: Okay. And in regards to controlled
12 plugs, what sort of proposal do you have about, for
13 instance, someone is working late and their monitor goes
14 off, or these non-essential loads are shed, do you have
15 any proposal around how to address sort of those
16 periodic --

17 MR. BENYA: Yeah, the best implementation of this
18 is going to be occupancy-based, probably occupancy-based,
19 that is, you sit down at your desk, your receptacles come
20 on, you leave your desk after 30 minutes, your
21 receptacles go off, not all of them, just the controlled
22 one. So it would be occupancy-based. You want to wait
23 until -- unless you are sound asleep at your desk, if you
24 are there at midnight, they will be on at midnight.

25 MR. MCHUGH: Okay. That is your intended to

1 occupancy-based. Thank you.

2 MR. FLAMM: So I want to clarify -- this is Gary
3 Flamm -- the reason that we proposed creating Section 135
4 is because Sections 130 through 134 are mandatory
5 requirements for lighting, and we didn't have a section
6 for electrical only. And so we decided we needed a
7 subsection that only addressed non-lighting electrical
8 issues. Now, the plug load proposal that Jim is talking
9 about was actually already presented on April 4th, and it
10 was a case report developed by HMG for PG&E, and --
11 pardon? And for Edison, I'm sorry, Edison, I love you,
12 too. So it was something that was proposed to be put
13 into one of the lighting mandatory measure chapters, and
14 it didn't belong there. So all we did between April 4th
15 and now was to move that language to Section 135 because
16 we're talking about plugs that may be lighting and may
17 not be lighting, so it's the same proposal, it's just
18 that we moved it to a different subsection.

19 MR. BENYA: And if I might, just to add, we added
20 a little bit more testing to it and the reason why is
21 that, at that time it was envisioned as emphasizing task
22 lighting. From my office of the future, phase 1 study,
23 we found that task lighting was way down the list of
24 connected power to plugs in buildings. There are many
25 things way above it on the list that could be switched

1 off, and so the whole idea is to capture all of those
2 loads that could be switched off when people aren't
3 sitting there. For instance, you know, I mean, I can
4 remember finding one office where I found three computers
5 sitting there drawing, you know, screen saver patterns
6 all over the place, there wasn't a chair at that desk,
7 and nobody sat there. And they just sat there drawing
8 the screens, oh, we could at least turn off the CRTs, and
9 that's what this system would do. I could tell you lots
10 of other fun stories, let's just leave it at that.

11 MR. GABEL: Mike Gabel, Gabel Associates. So
12 this is a question for both Jim and Gary. So, how would
13 you guys -- do you envision that the Code language might
14 give some guidance as to what indications of which
15 outlets are going to be turned off? Or are you going to
16 leave it wide open, or do you start thinking about
17 whether the Code should specify some general guidelines
18 about how they should be marked for the -- I'm concerned
19 about standards, some standardizations of people using
20 this stuff will kind of go into a new office and go, "Oh,
21 yeah, this is that outlet that gets turned off."

22 MR. BENYA: Do you want to do it? Go ahead.

23 MR. FLAMM: I think that HMG actually already
24 looked at this, there are some companies already have
25 some color differentiations that they've chosen, and I

1 think the choice -- what was proposed was let the market
2 sort that out, you know, if there would be any
3 conventions developed, so I don't think that we intend to
4 say what that shall be. But the requirement is that a
5 switched receptacle shall be -- or a controlled
6 receptacle shall be within six feet of an uncontrolled
7 receptacle, so, you know, they could be adjacent to each
8 other, or they could be six feet apart. So we were
9 going to let the market sort that out, and I believe that
10 was the recommendation.

11 MR. HAMILTON: Daniel Hamilton, Sacramento
12 Municipal Utility District. When do you expect to have
13 TDV numbers from Measure C or Measures C and D?

14 MR. BENYA: The TDV numbers were already
15 published in the HMG report.

16 MR. HAMILTON: Not all -- I didn't think the two
17 percent limits were --

18 MR. BENYA: Oh, two percent -- we're proposing
19 not to do that analysis since it's already considered to
20 be good practice, all we're doing is capturing good
21 practice and --

22 MR. HAMILTON: So it's turning the lights off.

23 MR. BENYA: -- you know, it's we could do a more
24 extensive study if people object, but I see no reason for
25 us to do that study unless there is enough objective. I

1 mean, if it's already good practice, why do we have to
2 study it anymore.

3 MR. HAMILTON: That's pretty minimal, I just
4 wanted to make sure we weren't leaving something out
5 there in terms of -

6 MR. BENYA: No, to be honest, you know, since we
7 had three established case reports on the things that I
8 felt were going to be the ones over which there might be
9 some concern over cost, I chose not to introduce anymore
10 extensive studies for the things that I think are prima
11 facie --

12 MR. HAMILTON: It probably goes without saying,
13 but SMUD is overall very supportive of these measures,
14 especially those with the non-energy savings with regards
15 to Smart Grid and DR.

16 MR. BENYA: Oh, yeah, you know, this is one of
17 those where I felt I could see the future coming and I
18 could see the frustration in people because, you know,
19 it's part of what I do in my design work, is we want to
20 go back into existing buildings and put in measurement
21 metering and management systems, and you know, the more
22 aggregated things get, the harder it is to separate them
23 out without very expensive instrumentation. And I know
24 doggone well, if you can put three CTs on and get the
25 data you need for all your lighting, wow, that saves so

1 much money and so much hassle, and it makes it so easy to
2 put in and understand, and that's the key. Thank you for
3 your comment, that's good.

4 MR. MCHUGH: This is Jon McHugh. So are you
5 proposing a particular threshold for segregation of
6 loads?

7 MR. BENYA: Yes. The thresholds work more or
8 less like this: it's first of all based on the service,
9 and then it becomes based on the group of load; so, for
10 example, if it's a relatively small building, one meter,
11 okay, you don't even disaggregate it because you're going
12 to have one panel, you really can't. This really says,
13 the minute we get to the point where the building and
14 load are big enough to justify, in many cases, at least,
15 a 60 AMP circuit, three-phase, or, in the case of a panel
16 upwards of 100 AMP, that becomes a manageable number now.
17 You know, I think it would be crazy if we put it any
18 lower because then you have all these little toy panels
19 all over the place, and it would add a lot of cost. So
20 it was broken down basically on chunks that arguably
21 don't increase cost as much as they define a particular
22 way of doing things.

23 MR. SHIRAKH: May I interject because I'm just
24 surprised that we didn't present actually those tables,
25 it is in the case report and we can bring it up, so

1 everyone can look at it. I think that would be really
2 helpful. Yeah, I think we have plenty of time.

3 MR. GARCIA: This is Tom Garcia, I just had one
4 quick question. I was curious about the \$.25 to \$.50 a
5 square foot. How is this done? Are you running a
6 circuit for the regular wiring, and then you're just
7 adding another outlet on that circuit and controlling it
8 by low voltage sensors? Or are you running all new
9 circuits on additional circuit-breakers that will be
10 controlled? Because it just seemed like you're doubling
11 the number of wiring if that's the case, the amount of
12 wiring if that's the case?

13 MR. BENYA: Good comment. In terms of doubling
14 the amount of wiring, under some circumstances, you might
15 be doubling the amount of wire, but not necessarily
16 wiring, because wiring to me includes junction boxes, or
17 conduit, etc., which actually is a more expensive part,
18 so it may require some more wire, but not necessarily
19 more wiring.

20 MR. GARCIA: Well, if it is for more wire, then
21 it's a larger conduit, and it's more --

22 MR. BENYA: No, you're still in the branch
23 circuit size, pretty much a standard half inch, three-
24 quarter inch stuff. The primary way this is going to be
25 applied is probably a better way to look at it, you're

1 going to have an office building and this applies to like
2 lobbies, and conference rooms, and private offices, and
3 open offices. In the private offices and other places,
4 what you'll be doing is you'll be putting in a low
5 voltage, probably, ceiling matted sensor, connected to a
6 power pack, and the power pack will have an auxiliary
7 relay. Now, an auxiliary relay may cost about twenty
8 bucks, so the auxiliary relay will switch the receptacle
9 circuit, it will split it, and switch half the
10 receptacles, and you'll probably come out of that
11 junction box with two wires, one a switched hot and one
12 an unswitched hot. You'll go to split receptacles, and
13 that will be the most likely way to do it in most spaces.
14 In open office areas, most likely way they're going to do
15 it is either they'll have ceiling mounted motion sensors,
16 and relays in the electrical closet, or more likely,
17 they're going to put in motion control plug strips in
18 open offices.

19 MR. GARCIA: Okay, good.

20 MR. MCGARAGHAN: Can I ask you something while
21 they're pulling that up? This is Mike McGaraghan with
22 Energy Solutions. Thanks, Jim. I wanted to ask about
23 the analysis on the plug load controls. You mentioned
24 that you re-ran it with your own method and plugging in
25 some of the values that you dug up in the study from

1 2007-2008 about what plug loads are actually in use. Is
2 that an analysis that you are making public? Or was that
3 kind of your own back of the envelope calculation to
4 verify savings or --

5 MR. BENYA: It's my own back of the envelope
6 calculation that is in the case report.

7 MR. MCGARAGHAN: Oh, it is in there, okay.

8 MR. BENYA: Yeah. To put it simply, and as we're
9 trying to find the document we want to put up here, just
10 to give you a little bit of background, there were some
11 very interesting findings and, of course, you have to
12 separate out the issues of energy vs. power, you know,
13 Title 24 has historically been a power standard, watts
14 per square foot, watts related. Obviously, watts are not
15 energy. There's always been the inference of energy
16 through assumed hours of operation, but we've been
17 struggling with that for quite a while now as to how
18 we're going to do energy better, other than full building
19 modeling. Setting that whole discussion aside for a
20 second, my survey showed that the -- this is one of my
21 favorite lecture points when I talk about this -- my
22 survey showed that the largest power density, connected
23 watts, connected watts per square foot in office
24 buildings throughout California was portable space
25 heaters, okay, number one load; number two load,

1 information technology, computers, printers, plotters,
2 etc., etc., etc.; load three, lighting, so lighting was
3 number three to those two, and the differences were
4 fairly significant. After that, there was still, you
5 know, a quarter and a half a watt a square foot for the
6 other stuff, from chargers and clock radios and all the
7 other things, the fans, and miscellaneous things you find
8 around offices, and this is a pretty good cross industry,
9 cross state survey, so I don't think there's any regional
10 emphasis on the outcome. I found those space heaters in
11 Southern California; I found them in Northern California.
12 I found them at SMUD in the SMUD Headquarters. So, you
13 know, this is something that happens, whether we like it
14 or not, and I just wanted to point out that that is a
15 great load if I were to pick on one, and I've also seen
16 it at the Pentagon, too, if I were to pick on one load
17 that I would say this would have great impact, it would
18 be that. People would be, okay, if you're going to have
19 one, at least plug it into the controlled receptacle.

20 MR. MCGARAGHAN: And one more question following
21 up on that. The 2007 study, did it actually look at sort
22 of the percentage of time that these various things were
23 left on or how many people were away from their desk?

24 MR. BENYA: No, this was a pilot study, it was a
25 very simple study, that's why I'm not claiming -- it's a

1 good enough database, but I'm not sure I know of a better
2 one at this point, is the problem. It's not a good
3 enough database to rely totally upon because we don't
4 know what the energy use was, we don't know what the
5 energy savings are going to be, and that's why in the
6 report I said, "If I make certain assumptions that the
7 duty cycle of the space heaters is 30 percent of the
8 time, etc., etc., etc., then the payback period is almost
9 instantaneous." I also said if I were off by 90 percent
10 and it was like, you know, 10 percent of what I
11 estimated, the payback period is still five years, and so
12 my common sense testing is what it boils down to.

13 MR. MCGARAGHAN: And that's all in this case
14 report?

15 MR. BENYA: It's in the case report.

16 MR. MCGARAGHAN: Thank you.

17 MS. BROOK: So if you could just walk us through,
18 you have two good summary tables in your case report and
19 you might have to move around a little bit just so that
20 we could see it, and you're not going to be able to see
21 the whole table at once, but maybe you could walk us
22 through it.

23 MR. BENYA: Yeah, this is the first of two tables
24 that is part of this proposal, 135A, this sets minimum
25 requirements for metering of electrical load, so you have

1 to be able to go to the electric meter, or to a meter
2 adjacent to the electric meter, and if your service is
3 rated 50 KV or less, are the least demanding
4 requirements, more than 1,000 KVA or the most demanding
5 requirements, but you can see in all cases, you've got to
6 be able to go and look at your meter and you'll know how
7 much demand you're using right now. Obvious reason is,
8 if you're going to do any type of demand thinking, you've
9 got to be able to get an idea what you're using. The
10 second one is some sort of historical peak demand
11 ability, this is only required of the larger services, so
12 your ability to go back and say, "Okay, tell me how much
13 I used last month, or last year" is only required in
14 services more than 250 KVA. The third one, a resettable
15 kilowatt hour reading, so you walk up to the meter and
16 you say, "Okay, reset it," you come back a week later and
17 read your kilowatt hours for the last week, so you get an
18 idea how much energy you're using, that's required of all
19 meters. But your ability to take a look at kilowatt
20 hours per rate period -- and by "rate period," I mean on
21 peak, off peak, or any other period we might get into --
22 is only required of the largest services. Again, this is
23 common sense-based, you're not going to see any type of
24 economic test because I don't think this is expensive. I
25 don't think you would even see it in the cost of a

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 project, but it does provide the building owner/operator
2 with a useful amount of totally aggregated information
3 that might help them discover whether or not their
4 building has any issues. There is a separate table for
5 the disaggregation. I'll be glad to stop here if you
6 want to talk about this particular table before we move
7 on. Jon?

8 MR. MCHUGH: Jon McHugh. So, from this first
9 table, so basically all systems have to provide
10 instantaneous KW demand and resettable kilowatt hours.
11 Is that something that the standard utility meter is
12 providing now free of charge? Or is that an additional
13 feature that's going to be required by the building owner
14 to install?

15 MR. BENYA: I'm not an expert on electrical
16 meters, but the mechanical meters we've had over time
17 with some special provisions can do this, but the
18 electronic meters, this is easy. And as we move from
19 mechanical to electronic meters, which is going to be a
20 necessary part of the conversion, of building future
21 buildings and systems, I think this is a feature of every
22 electronic meter I've ever seen.

23 MR. MCHUGH: Okay, so you're saying every meter
24 that you've seen has this feature, and we just need to
25 make sure we coordinate with that.

1 MR. BENYA: At least. Most of them have more
2 features than we're asking for.

3 MR. MCHUGH: And that this is available to the
4 user on-site to do these things.

5 MR. BENYA: Yes.

6 MR. MCHUGH: Okay, thank you.

7 MR. BENYA: Any other questions about 135A? If
8 not, we'll move down to Table 135B. Table 135B, as
9 before, breaks the building down into service rated
10 sizes. The reason why we picked service rated size is
11 because this is the first good way to indicate the
12 relative size of the distribution system. If it's a
13 service rated 50 KVA or less, that's a relatively small
14 service. That would be, for example, a 200 AMP single
15 phase, 240 volt, would be a service like this, otherwise
16 it's doggone near residential size. That would apply to
17 small businesses, primarily, smaller properties. The
18 second group, 50-250, is taking you from that 200 AMP
19 single phase to 240, all the way up to, well, five times
20 that, so 1,000 AMPS, 240 single phase, which would be
21 more like 600-800 AMP at 12208, that's pretty substantial
22 service for a building and we're probably looking at
23 buildings that are 25,000-square-feet, would be the
24 approximate standard commercial building size that that
25 would run up to. The next group is probably buildings

1 for about 25,000-square-feet up to 100,000-square-feet or
2 so, maybe larger, maybe smaller, it depends on the
3 building type and the efficiency of the building, and
4 that's the third category, and the fourth category is
5 relatively big structures.

6 So the requirements are for lighting to
7 disaggregate the data starting with the second building
8 class. The first building class probably has one panel
9 board, and so asking people to get in and wire their
10 building differently than that just doesn't make any
11 sense. But in the second group, you probably can
12 aggregate all your lighting onto a single panel board,
13 maybe a small one, maybe it only has a few brain
14 circuits, but you can do it. From there on, you are
15 really required to start to disaggregate that
16 information. By the time you get to the third level, you
17 really -- we want to further disaggregate the lighting by
18 floor type or area. Some of the definitions here are
19 going to have to be worked out, but the idea here is
20 that, for example, now you're talking about buildings
21 with spaces 25,000 to 100,000-square-feet, you're likely
22 to have distinct building masses, or distinct floors; in
23 a multi-floor building, this would be a small multi-floor
24 building that would be typical of this. And so we do
25 want to know what per floor, that's how if you're going

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 to be managing a building trying to find issues, you'd
2 sure like to know what floor to look on. And obviously,
3 this continues on up to the larger building.

4 The next group is HVAC systems, very similar to
5 lighting in pretty much all respects. The other thing we
6 want to do is make sure there is some way to easily
7 identify big HVAC loads, chillers, big fans, and other
8 things, so that they might independently be metered, 50
9 KVA kind of being the size that requires an independent
10 ability to identify that. Now, this is kind of a non-
11 brainer because those loads are fed by their own breakers
12 and their own feeders, anyway. So it's kind of a gimme.
13 It doesn't really have any impact whatsoever, but it's
14 nice to say.

15 The next one, domestic and service water systems,
16 pumps and related systems and components, we're just
17 saying, if the building is big enough, you can aggregate
18 those loads, put them altogether, water pumps represent a
19 small percentage of the building, but the bigger the
20 building, the more we'd like to know it.

21 Plug loads is where this is going to get to be
22 kind of exciting because we want to talk about two
23 things, one would be all plug loads in aggregate starting
24 at that 10,000-square-foot or so project, and it also
25 requires groups of plug loads exceeding 25 KVA connected

1 load in an area less than 5,000 square feet. Read
2 between the lines, this means at least two space types I
3 can think of right off hand, server farms and commercial
4 cooking kitchens, also some light industrial uses might
5 fall into that category, as well, but 25 KVA is a
6 reasonable chunk of power and especially if it's in an
7 area that small, so this is not, I don't think, an
8 onerous requirement, it just says you've got to have a
9 feeder for that, a feeder and a subpanel. Now, frankly,
10 in commercial cooking kitchens, you already have a
11 subpanel, that's the way you wire them for Code reasons,
12 so this is again -- a lot of this is a gimme, but it's
13 saying that, if you have a chunk, you have to put in a
14 subpanel for it, you can't just grab a bunch of existing
15 circuits. And likewise, this continues up to the floor
16 level, or area level in the larger buildings. Elevators,
17 moving walks, transit systems can be aggregated, again,
18 they represent a relatively small percentage and,
19 frankly, many times there's not an awful lot you can do
20 to manage them, anyway, they're need-based. Other
21 individual non-HVAC loads or appliances above 25 KVA, you
22 can aggregate all of them, not in the smallest building,
23 again, we're assuming everything is on one panel; but in
24 the next larger building on up, you have to identify
25 these loads and load groups, and by the time you get to

1 the larger buildings, it's in each, rather than in all.

2 Industrial and commercial load centers, actually

3 this brings up commercial kitchens, again, specifically,

4 also theatrical lighting installations, these are some

5 common ones that I could think of, I'm sure there are a

6 list of other things that I didn't think of. Renewable

7 power source, here we want to be able to identify it.

8 Now, frankly, you already have to do this by Code, again,

9 it's kind of a gimme, but you need to know where it is,

10 so when your PV system connects, there's almost

11 invariably one or two disconnects for safety reasons, you

12 already know where to put it. Loads associated with

13 renewable power source, if the load is specifically

14 associated with it, for whatever reason, all those loads

15 should be in aggregate. I can only imagine what this

16 might mean, the motors to turn your photovoltaic array or

17 something. Finally, charging stations for electric

18 vehicles, again, if you're going to put in a number of

19 these, they could have a relatively high power use,

20 either instantaneous or, depending on the number of

21 vehicles, KWH, as well, but it's one use, and I don't

22 know what you'd learn by saying, "How much more did

23 Charging Station use than Charging Station 2?" Plus,

24 charging stations have brains in them, so you can learn

25 that information if you need it, anyway. So that's the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 summary of the requirements for the disaggregating by
2 wiring of loads. Questions? Jon.

3 MR. MCHUGH: A clarifying question -- Jon McHugh.
4 So for each of these disaggregated loads, you're looking
5 at having like a CT, a Current Transformer, and some
6 monitoring and storage of the data. Is that what you
7 intend here?

8 MR. BENYA: No. This only requires that there is
9 an easy place for you to add that later.

10 MR. MCHUGH: So currently, so just going back to
11 the metering requirement, what are you specifically
12 requiring metered?

13 MR. BENYA: The only thing we're requiring to be
14 metered at this point is the service.

15 MR. MCHUGH: The entire building?

16 MR. BENYA: The entire building, an aggregate
17 number, and so that the owner can do the simplest of
18 measurements and the simplest of uses of this
19 information. It's not much information, but there's
20 going to be a lot of people who don't care, they don't
21 want to put a measurement and metering system in, they
22 don't want to manage their load, they don't want to make
23 that investment, and we're not making them. But if the
24 next guy who buys the building comes in and wants to put
25 in all that stuff, or if Smart Meter technology, Smart

1 Grid technology, dramatically encourages them to do it,
2 they won't have great expense in doing it later.

3 MR. MCHUGH: Okay, so metered-ready, essentially,
4 is what you're proposing.

5 MR. BENYA: Yeah, sub-metered is maybe not
6 technically the correct term because sub-metered implies
7 tenants or other uses like that, there is also the legal
8 definition of what is a sub-meter, and some limitations
9 the CPUC places on their meters, I didn't want to get
10 into that.

11 MR. MCHUGH: And related to tenants, do you
12 envision any sort of disaggregation of loads by divisions
13 in the building, in terms of tenanted spaces, that sort
14 of thing?

15 MR. BENYA: This can deal with that if the tenant
16 is big enough. The problem is, of course, let's say I'm
17 a tenant, I'm going to rent a retail store in your mall,
18 every common situation, the service to the mall is well
19 over 1,000 KVA, so the mall itself is required to do a
20 certain amount, but once it gets to me, I'm now an
21 identified -- I'm one of those load groups, okay? As a
22 tenant panel, I would get a tenant panel, I'm a load
23 group. So I would then be able to say, "Hey, look, as a
24 tenant, I'm under 25 KVA, so I could just have a panel."
25 See?

1 MR. MCHUGH: Thank you.

2 MR. SHIRAKH: Any other question or comments for
3 Jim? Are you all done? So we're ahead of schedule. We
4 have a choice of having a nice long lunch, or we can
5 actually do one of the afternoon ones and get out of here
6 earlier. I vote for getting out of here earlier.

7 MS. BROOK: Okay, so we can do the Condenser
8 Water Reset?

9 MR. SHIRAKH: Right.

10 MS. BROOK: Okay. So this measure is Condenser
11 Water Supply Temperature Reset Controls, and this was
12 brought to Commission staff from the IOU case team and
13 Michael McGaraghan and I think Elizabeth is online?
14 Okay, that's okay, that's fine, and you can probably
15 cover for her.

16 So just the origins of this proposal, those of
17 you that were paying attention to all of our past
18 workshops, we did talk about developing an acceptance
19 test for condenser water reset controls, and in the
20 process of that research, we identified a lot of savings
21 opportunities for the controls, themselves, and there's
22 been a lot of success in retro-commissioning projects
23 across the state and using this measure to achieve
24 significant savings, and we want to consider and discuss
25 actually having the controls as part of our standards

1 update. There are definitely issues that we'll present
2 here and we will want to discuss and get some feedback
3 on.

4 So, basically the idea of this proposal is to
5 reset the condenser water supply temperature downward
6 during times of low load, to allow the chiller to operate
7 more efficiently. And as I mentioned, it was based on an
8 acceptance test and case proposal that proves that there
9 are significant savings, potential savings. And so the
10 idea of the -- I think I can just keep going here -- so
11 basically the idea is to prohibit fixed supply
12 temperature and to allow the supply temperature to be
13 reset according to relevant control sequence. And also,
14 as we presented earlier, there is an accompanying
15 acceptance test protocol developed.

16 So we have had some early feedback from the
17 design engineers that are part of our support team, and
18 their initial concerns are that this measure is great at
19 saving energy if it works perfectly and if the control
20 sequence is very well developed, and specific to the
21 application. But the issues are that these controls
22 could be set improperly or retuned to provide -- to
23 change the control sequence, and there are significant
24 and real energy penalties if the reset controls team
25 doesn't work correctly. So there's a potential for

1 chiller surge at low condenser water supply temperature,
2 so obviously that's a real concern for equipment
3 reliability, performance, and sustainability. These
4 optimal control sequences are very site-specific and so
5 the concern is that the control sequences themselves
6 couldn't be specified in Code because they are so site-
7 specific, they couldn't be generalized in the Code
8 implementation. And the wet bulb sensors that are used
9 in one type of strategy to reset the supply temperature
10 may be unreliable, so that would obviously cause the
11 control system to not work as planned. And if we are
12 going to go forward with this, then we need to think
13 about integrating the waterside economizers if they are
14 provided, and provide for the appropriate head pressure
15 control of the chillers.

16 So I don't know how much work we've done on how
17 often the condenser water reset controls are implemented
18 in practice, so the team is still looking into these
19 feasibility concerns, and we're actually here today to
20 invite more, so we really do need to hear from more
21 designers and manufacturers. We have a very limited
22 sample right now that we're considering and reacting to,
23 but we need a broader community to come in and tell us
24 what they think about this proposal.

25 So the way the team estimated energy savings for

1 this measure is they looked at energy modeling
2 parameters, two building types for each chiller type,
3 office and a hotel schedule, five climate zones, and a
4 reset strategy that followed the outdoor air wet bulb
5 temperature. They used a fix condenser water pump speed
6 and a cooling tower control, 80 degree design wet bulb
7 within 66 degrees minimum condenser water supply
8 temperature, so it was a standard reference for
9 comparison.

10 So the modeled energy savings show potential
11 energy savings higher in the warm dry climates and lower
12 in the mild wet climates, with a variation across the
13 three chiller types, but you know, still some significant
14 savings there. The estimated cost for overall sort of
15 the present value total cost per plant would be over
16 \$2,000, it includes the sort of estimates of material,
17 install, and maintenance costs. Next slide.

18 The cost-effectiveness net TDV savings ranges
19 from \$.10 to \$.20 per square foot across these three
20 chiller types. So, basically, we would be proposing to
21 require reset controls for water cooled chiller plants
22 that are served by cooling towers, so these would be
23 required to have automatic reset control functionality of
24 the condenser water supply temperature, and we would
25 exempt chillers serving constant loads, including

1 facilities operating 24-hours a day.

2 The acceptance test was part of an earlier
3 workshop and case report and the reference for that is
4 provided here, and there is also recommendations for at a
5 glance guides in form that are relevant to the acceptance
6 test for condenser reset controls. So that is the
7 presentation and we would like to know if anybody here or
8 online has opinions about whether it's appropriate to
9 include this as a prescriptive requirement in our Code,
10 or not, and what the potential issues might be. Anybody
11 have any questions, come up now, otherwise, check online,
12 if there is nobody online, then we'll continue to pursue
13 other feedback from the designers and manufacturers.
14 Jon.

15 MR. MCHUGH: Could you go back to the Code
16 language? This is Jon McHugh. I have a question about
17 -- this is condenser water supply temperature reset, and
18 I was wondering why, for a chiller with constant load,
19 that it still wouldn't be desirable to have -- this is
20 not chilled water reset, this is condenser water reset,
21 and so not clear why a chiller with a constant load, it
22 might still be desirable to have a variable set point,
23 depending on the ambient temperature conditions outdoors.
24 So, for instance, you know, a wet bulb following time
25 control, or something like that, where essentially your

1 set point is being adjusted based on ambient conditions.

2 MS. BROOK: Good question, I don't know the
3 answer to that. So, I'm guessing that there were
4 comments from the people that Elizabeth reached out to,
5 that explained that maybe nobody does it, or maybe there
6 are issues with -- or maybe there's just a real
7 limitation in energy savings, but I agree with you that
8 it seems on face value that there still might be some
9 potential there, but maybe Mike wants to speak to that.

10 MR. MCGARAGHAN: Mike McGaraghan, Energy
11 Solutions. And I actually don't have an answer for you,
12 Jon, but I do think Elizabeth is trying to call in, so I
13 just wanted to see if Elizabeth Joyce is on the line
14 there and, if so, I don't know if she is muted or if we
15 can --

16 MS. JOYCE: Hi, yeah, this is Elizabeth Joyce.
17 Can you hear me?

18 MS. BROOK: Yeah, great.

19 MS. JOYCE: Okay. So, Jon, the intention behind
20 that language, and there might be other exceptions that
21 come up, but the thought behind that is that, you know,
22 reducing the condenser water temperature is going to
23 reduce the capacity of the chiller, and it will make it
24 more efficient, but the idea being that if the chiller is
25 serving a constant load, or is running at near constant

1 capacity all the time, then it won't see savings from
2 this kind of a measure. You know, or you can risk not
3 being able to deliver full capacity to your loads. So
4 that was the intention behind that. You know, it might
5 need to be worded a little bit differently.

6 MS. BROOK: Good, thank you.

7 MS. JOYCE: No problem.

8 MS. BROOK: And, Elizabeth, maybe you could just
9 briefly mention what effort you're making now to try to
10 reach out to additional designers, and maybe -- I don't
11 know, do you happen to know, one of the things I was
12 wondering about is, is this measure incented through the
13 Savings by Design Program? Do you know if anybody has
14 experience using this control technology to achieve
15 better than Code savings?

16 MS. JOYCE: So I know that this technology, this
17 control mechanism, rather, can achieve better than Code
18 savings. I haven't looked into Savings by Design or any
19 other program. My understanding is that, you know, if
20 somebody is doing this on a performance compliance basis
21 and applies the Savings by Design via that pathway, that
22 they could get an incentive for it. I don't know of any
23 programs that explicitly intent it. As far as outreach,
24 we're trying to reach out to different mechanical design
25 and mechanical engineering firms to get their take on

1 whether this is something they frequently recommend or
2 implement, and what kinds of benefits or drawbacks they
3 see from it. We're also trying to reach out to
4 manufacturers and industry groups to get a sense from
5 manufacturers on, again, what some of the pros and cons
6 of this kind of reset are. You know, some of the
7 feedback that we've received includes that, you know,
8 this is a pretty complex measure to implement, or it can
9 be if you have a complicated chilled water plant, and
10 that, if done correctly, it can achieve great energy
11 savings; but if done incorrectly, you know, there can be
12 an energy penalty or there can be operational problems.
13 And so, in my mind, at least, it kind of boils down to
14 how feasible it is perceived as a measure by the design
15 community. Is it something that people perceive to be
16 actually pretty simple to implement? Or, you know, is it
17 something that people think is actually really difficult,
18 or they've had difficulty implementing it in their own
19 experience or practice? And that's what we're trying to
20 figure out, you know, just sort of, again, the pros and
21 cons and the prevalence is what we're still trying to
22 research and, you know, we would definitely appreciate
23 any feedback. I think, if people want, I think my
24 contact information might be up there. I'm happy to
25 listen to anyone who has opinions on this measure.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 MS. BROOK: Okay, so the idea that I had was, can
2 we actually find out from the Savings by Design Program
3 if this measure is used to claim Savings by Design
4 savings.

5 MS. JOYCE: Uh huh.

6 MS. BROOK: Because, you know, if it's not ready
7 for Code, but it's being used in every beyond Code
8 program, well, then you have to really wonder why isn't
9 it ready for Code. So that's what I was wondering about.

10 MS. JOYCE: Sure, and that's something that I can
11 definitely do. Thanks for the recommendation. Yeah.

12 MS. MCGARAGHAN: So this is Mike again and I just
13 wanted to point out, I just gave an email blast out to a
14 handful of people that may have just called in, I don't
15 know, I gave a heads up to a train company and PECI and
16 AEC, and a few others. So if there are others online
17 that may have just joined for this conversation and want
18 to contribute, you know, I think the best way is to --
19 what do they do? Raise their hand, you know, send in a
20 chat to the host of the call?

21 MS. BROOK: And then the other thing we can do,
22 if they were planning to come and join after lunch to
23 talk about this, we could definitely get their comments,
24 so if you could just remind us to open up the lines again
25 after lunch to see if anybody else wants to talk about

1 this measure?

2 MR. SHIRAKH: Yeah, we'll check in after lunch
3 and make sure there are no outstanding comments before we
4 move on. Jon.

5 MR. MCHUGH: Jon McHugh. A couple more comments.
6 My understanding is that, as part of the case study, this
7 was one of the larger retro-commissioning measures, so
8 whether or not someone is using it for new construction,
9 there is also the issue in terms of whether some of the
10 programs are also using this for retro-commissioning.

11 MS. JOYCE: Uh huh.

12 MR. MCHUGH: The other issue I'd like to bring up
13 is that this type of control has been since 2008 required
14 for refrigerated warehouses.

15 MS. BROOK: Oh, okay, thank you. That's very
16 good. One other thing that I shouldn't have to ask, but
17 I do, is do we allow this in the performance approach as
18 a tradeoff now, or are we not allowing that as a way that
19 we can comply with the standards in the performance
20 approach? Does anybody know?

21 MS. JOYCE: My understanding is that it can be.
22 I know, at least it can be modeled, so presumably, but
23 I'd have to check the ACM.

24 MS. BROOK: I'll double-check, I just wanted to
25 know if anybody had the answer in their head, but that's

1 fine. All right, thank you, Elizabeth.

2 MS. JOYCE: Thank you.

3 MS. BROOK: And I think that is a good point of
4 context, so it basically is a prescriptive requirement
5 for refrigerated warehouses, and so it is -- maybe it's
6 different because of the way that loads either do or
7 don't vary between building types, but definitely an
8 interesting thing that we'll need to pursue.

9 MR. GABEL: Mike Gabel. I'm about 99 percent
10 sure that it is under the performance approach a current
11 modeling tradeoff.

12 MR. SHIRAKH: Any other questions related to this
13 topic, the Condenser Water Reset Controls? So we're at
14 11:30. I would suggest we break for lunch and then meet
15 back here at 12:35, and resume -- 12:45, okay.

16 (Recess at 11:32 a.m.)

17 (Reconvene at 12:57 p.m.)

18 MR. SHIRAKH: Okay, since we discussed the
19 Condenser Water Reset topic before lunch, I want to make
20 sure that, if there is anybody online who has a question
21 or comment about that before we move to the next topic.
22 We're kind of ahead of schedule, so we jumped into the
23 afternoon session before lunch. Are there any comments
24 related to Condenser Water Reset Controls? Okay, what is
25 the name again? Mick? Mick Schwedler, are you online?

1 MR. BROOK: You know what we can do, we can just
2 -- we have plenty of time, maybe we can --

3 MR. SHIRAKH: Yeah, we will come back during the
4 public comment and try to address it if there is somebody
5 online who wishes to revisit this. So we'll move on to
6 the next topic, which is boiler efficiency measures, and
7 Martha is going to do this.

8 MS. BROOK: Okay, commercial boilers. We're
9 proposing three mandatory Code changes so that they would
10 be mandatory requirements for commercial boilers of a
11 certain size, combustion air positive shutoff, combustion
12 fan variable frequency drive, and parallel position
13 control. So the proposed Code language is that there
14 would be mandatory requirements for service water heating
15 systems and equipment, combustion air positive shutoff
16 would be provided for all natural draft and forced draft
17 boilers with an input capacity of 700,000 Btus per hour
18 and above for all boilers where one stack serves two or
19 more boilers, with a total combined input capacity of
20 700,000 Btu hours, and then also for boilers where
21 combustion air positive shutoff would significantly
22 reduce air flow and consequently boiler heat loss during
23 standby and shutdown periods. And when I was reviewing
24 this proposal, I mentioned that Item C potentially
25 difficult or impossible to enforce, so we are looking for

1 recommendations for maybe how we meet this intent in a
2 better way, or decide that we wouldn't go forward with C,
3 because we don't think it's enforceable, but the idea is
4 that there's many instances where there is significant
5 standby and shutdown periods that aren't addressed by the
6 first two, just by boiler size, so we're looking for
7 recommendations there.

8 So for the fan variable frequency drive, boiler
9 combustion air fans with motors 10 horsepower or above,
10 will need to be driven by a variable speed drive, or
11 include controls that limit the fan motor demand to no
12 more than 30 percent of the total design wattage of 53
13 percent of the design air volume.

14 And the idea of the next proposed language is to
15 limit the amount of excess air that's provided into the
16 combustion, so boiler systems with input capacity of 5
17 billion Btus per hour or larger shall maintain excess
18 oxygen concentrations less than or equal to five percent
19 by volume on a drive basis over the entire firing range.
20 And the combustion air volume would be controlled with
21 respect to firing rate or flue gas oxygen concentration.
22 So use of a common gas and combustion air control linkage
23 or jack shaft is prohibited.

24 And the energy analysis for the air positive
25 shutoff is that this saves 30 percent of the total

1 standby losses and the standby losses are two percent of
2 the rated fuel input per the modeling results. There's
3 2,722 hours per year of boiler operation and so these are
4 sort of the background assumptions and the price of fuel
5 is listed there for natural gas, and then the payback
6 threshold is 11.9 for a year, that's the present value of
7 the 15-year building lifecycle.

8 For the same measure, the assumptions for
9 installed cost provided by a flue damper manufacturer,
10 the incremental cost to a boiler manufacturer is about
11 \$750.00, their mark-up was conservatively estimated at
12 100 percent, so the cost that was used for this analysis
13 was assumed to be \$1,500.00. Maintenance cost is assumed
14 to be \$50.00 per controller replacement every 10 years,
15 and with an hourly labor rate of \$100.00 per hour, and
16 the present value maintenance cost of \$112.00 using our
17 three percent discount rate. The lifecycle cost results
18 using an input capacity of 700,000 Btus per hour, this is
19 a summary of what I just mentioned on the cost and the
20 present value of the energy savings is calculated to be
21 almost \$2,000.00, the lifecycle cost savings of \$122.00,
22 and the benefit cost ratio of 1.1.

23 For the fan variable frequency drive, the same
24 assumptions about hours of boiler operation, the motor
25 load factor was assumed to be 70 percent, the cost of

1 electricity is \$.13 per kilowatt hour, and the same
2 lifecycle assumptions about the equipment. So this is a
3 boiler run time Histogram over the different -- each of
4 the bars is a different climate zone, and there is also a
5 highlighted bar at the end of that group, that is the
6 average of all climate zones, and that lists the
7 different boiler firing rates as - and the fraction of
8 the time that the boiler is at that firing rate.

9 Incremental installed cost is shown here in the
10 table that is provided by the RS Means and verified by
11 the Statewide Retro-Commissioning Program that is run by
12 PEGI. The incremental maintenance cost is a conservative
13 estimate of half an hour per year at a labor rate of
14 \$100.00 per hour, and the present value of the annual
15 maintenance is discounted by three percent over 15 years
16 and is \$597.00. The lifecycle results are shown here in
17 this table, it's got a benefit cost ratio of 1.3 with the
18 listed energy savings and incremental costs in the table.

19 The energy analysis for the parallel position
20 control is that it is standard with low and ultra locks,
21 so our industry research says that this type of control
22 is standard with low and ultra-low NO_x burners. The base
23 cases of a boiler with a single point control without low
24 or ultra-low NO_x burners, the case that we propose for
25 this measure is a parallel positioning control and

1 without low or ultra-low NO_x burners. The base case
2 excess air ranges from 40 percent at high fire to 80
3 percent at low fire, and the measure case excess air is
4 28 percent.

5 The net temperature difference, which is the
6 stack temperature minus the intake temperature, is 170
7 degrees; the same assumptions about average per year of
8 boiler operation and fuel costs, and lifecycle.

9 The incremental installed costs was provided by
10 four boiler control representatives, manufacturer
11 representatives, the total installed incremental costs
12 from all four sources ranged from \$8,000 to \$9,000. The
13 price does not vary with boiler capacity, at least
14 between 50 horsepower and 1,500 horsepower. The
15 maintenance cost of boilers air to fuel ratios adjusted
16 during boiler tuning, this occurs for both the base case
17 and the measure case, but requires more time for the
18 measure case, so those additional labor costs were
19 included. It's a conservative estimate of four hours per
20 year at the labor rate of \$100.00 an hour and this turns
21 out to be \$4,775.

22 So lifecycle cost results for the parallel
23 position control, it's got a benefit cost ratio of 1.2
24 and lifecycle cost savings of over \$2,000. And that's
25 all we have. So this work was done by Matt Tyler at

1 PEGI, who couldn't be here today, but we are here to get
2 any comments that anybody has on commercial boiler
3 efficiency measures that we're proposing.

4 MR. SHIRAKH: Any comments on commercial boiler
5 project? Anybody online?

6 MR. SMELCER: This is Jim Smelcer of Lochinvar
7 Corporation. If I could ask that we back up the slides
8 to the beginning of the presentation on the boilers, the
9 one that specifically was the excess air ratio of less
10 than 10 percent, could we go there?

11 MS. BROOK: So just help me find where that was.

12 MR. SHIRAKH: It was when we talked about --

13 MR. SMELCER: Yeah, combustion air positive
14 shutoff saves -- no, that's not it.

15 MS. BROOK: Okay, so I'm hunting, so if you know
16 where it is, then let me know. Of course, you don't,
17 because I'm jumping around and all you have are these
18 slides, so...

19 MR. SMELCER: It was earlier, early in the
20 presentation.

21 MS. BROOK: All right, let's just go one at a
22 time until we find it. This is the Draft Code language,
23 so it won't be there, it's in the stated assumptions?

24 MR. SHIRAKH: Uh huh.

25 MS. BROOK: Okay.

1 MR. SHIRAKH: Yeah, one was 40 percent, the other
2 was 27 percent.

3 MS. BROOK: Oh, okay.

4 MR. SHIRAKH: The base case was 40.

5 MS. BROOK: Okay, yeah, I'll get there. I just
6 want to make sure I'm not skipping any of them. Is this
7 it?

8 MR. SHIRAKH: That's the one.

9 MR. SMELCER: No, that's not it either. That's
10 with low NO_x burn, I think it's still upstream.

11 MS. BROOK: Okay. I think I'm back to Code
12 language now. So was it in the Code language, no, it's
13 not in there. Do you think it's closer to the end?

14 MR. SMELCER: It's closer to the beginning.

15 MS. BROOK: I was at the beginning.

16 MR. SMELCER: Well, my question, what I heard was
17 that the set-up for the operation is that it was based
18 off of operating at a 10 percent -- I'm not sure if it
19 was a maximum or up to this ratio, I've wanted to
20 question that and how that was arrived at.

21 MS. BROOK: Okay, so this is the only slide that
22 I can find 10 percent on it and it's the oxygen percent
23 at low fire for the base case. Is that what you're
24 questioning?

25 MR. SMELCER: Let's see, from point percent at

1 high fire to 80 percent at low fire, uh, excess air
2 oxygen ranges from 40 percent, and then a 6.5 percent.
3 Explain the 40 percent.

4 MS. BROOK: Okay, so what Matt has done here is
5 that excess air is the percent that's outside of the
6 parentheses, and it's oxygen percent is inside the
7 parentheses.

8 MR. SMELCER: Oh, okay, now I understand. Now I
9 understand, so he's running at considerably high excess
10 air ratios in order to achieve the NOx, okay. That
11 explains that. Then, my other question is with respect
12 to flue damper, itself. Is it the intent that a flue
13 damper be, in fact, a mechanism that is installed on the
14 exhaust vent of the boiler that shuts off all flow to the
15 heat exchanger?

16 MS. BROOK: I don't know the answer to that. Can
17 you - Jon thinks he has the answer and he's going to come
18 up and tell us what the answer is.

19 MR. MCGARAGHAN: Maybe Matt will come tell me
20 that I'm full of it, but as I remember why he's using the
21 term -- was it positive shutoff, or something like that
22 -- is that there's multiple ways of achieving, you know,
23 stopping the air flow through the heat exchanger, so
24 whether you use a flue damper or you do something that is
25 upstream of the boiler, he doesn't care how you do that.

1 MR. SMELCER: Okay --

2 MR. MCGARAGHAN: You make it more generic is the
3 intent.

4 MR. SMELCER: Yeah, why I was stating that is
5 that, just using the term "flue damper" since the Federal
6 Government stopped recognizing flue dampers for any
7 benefit with respect to efficiency calculations 20
8 something years ago, dampers basically don't exist that
9 are generic in nature, it's something that the
10 manufacturer does on his own and customizes for his own
11 product. There are vent dampers out there, but they do
12 an entirely different job. Flue dampers in the United
13 States, there isn't one vendor source today in the United
14 States that makes what we would call a flue damper that
15 is designed to shut off flow on the boiler, there isn't a
16 manufacturer that does that. So the cost analysis that
17 came out of that, I don't know what basis was used to
18 arrive at those numbers. We've been investigating the
19 cost of a similar appliance in Europe that is available
20 there, but nothing in the States that's available, so
21 those cost analyses would have to be based off of us
22 designing something to shut down, the flow to the heat
23 exchanger, be it upstream, or be it downstream, or
24 somewhere in the middle.

25 MS. BROOK: Okay --

1 MR. SMELCER: For a gas boiler, that analysis,
2 I'm not sure where that came from.

3 MS. BROOK: Okay, that's fair and we do -- do we
4 have a case report posted for this, Mike? So we do have
5 a case report that has more detail about where those
6 costs, how those costs were derived, and we can also --
7 we can ask Matt to get back to you and resolve any
8 concerns you have about those costs, and make sure that
9 Commission staff is aware, as well, whether your issues
10 have been resolved.

11 MR. SMELCER: Yeah, my point is that you just
12 can't go out and buy one, a lot of times we have to
13 correct to adapt this.

14 MS. BROOK: No, that's a really good point. Now,
15 are you commenting also that we shouldn't use the word
16 "flue damper" in this case because it doesn't actually
17 shut off the air?

18 MR. SMELCER: Yeah, that was my original question
19 and I believe flue damper is used inappropriately in the
20 context.

21 MS. BROOK: Okay.

22 MR. SMELCER: It would be a means of shutting
23 down the flow to the heat exchanger in a generic sense, I
24 think, is what may be intended, but a flue damper by
25 definition is something that describes that, but that is

1 not a defined appliance that is manufactured in the
2 United States today.

3 MS. BROOK: Okay, and Mike wants to comment.

4 MR. MCGARAGHAN: Jim, this is Mike McGaraghan
5 again, thanks for your comments and Matt Tyler is
6 actually out of town now for a few weeks, and I want to
7 make sure we do follow-up with you about your question.
8 Do you have -- have you been in email contact with anyone
9 here at the Commission?

10 MR. SMELCER: No, I'm the recipient of the CEC
11 stuff that's coming out through AHRI and those
12 interested, that want to participate, and I was one of
13 them, and I actually posted my comments through AHRI that
14 relate, this is one basic question. I had others, but
15 this is the first one. We got this one out of the way,
16 then we can move on. But I would tell you from a
17 Lochinvar standpoint, there isn't a flue damper designed
18 today that we can go buy for \$750.00 and adapt it to put
19 on our boiler, it doesn't exist. We'd have to design
20 something, and that is design cycle time, and that just
21 doesn't happen.

22 MR. MCGARAGHAN: So what I'd like to do is just
23 follow-up with you and also make sure you get a copy of
24 the case report, and we can see if that answers your
25 question. I believe that Matt Tyler actually, for all of

1 these measures, did the field testing in California, so
2 maybe it's just a terminology issue here. Can you give
3 me your phone number and I'll follow-up with you?

4 MR. SMELCER: It's 615-889-8901 ext. 2259, and I
5 can also give you my email address.

6 MS. BROOK: Please do.

7 MR. SMELCER: It is jsmelcer@lochinvar.com.

8 MR. MR. MCGARAGHAN: Great. Thank you very
9 much, Jim.

10 MR. SMELCER: You're quite welcome.

11 MS. BROOK: So am I also correct in understanding
12 that this is one of several issues that you have and you
13 want to get this one resolved first before we move on to
14 the others?

15 MR. SMELCER: We can go ahead and discuss the
16 others, but from the time cycle standpoint, the
17 availability standpoint, all of those things, put
18 everything out, so it's kind of fruitless to discuss the
19 rest of it until we get to that.

20 MS. BROOK: Okay.

21 MR. SMELCER: Or do you agree?

22 MS. BROOK: If it's on the air positive shutoff
23 proposal, I would agree. If you have comments on either
24 of the other measure proposals for commercial boilers,
25 then we'd like to hear them.

1 MR. SMELCER: I think anything associated with
2 the vent damper was one. The other, I had one other
3 comment that was related to the parallel positioning --
4 there's another one -- I'm not sure what that is, I
5 really don't know what that is. I heard the description,
6 I read the description in the reference information that
7 we had gotten to study prior to this phone call, but I
8 really don't know what that is. I don't know what I
9 would do with it. It says it's cost of between \$8,000
10 and \$9,000, and I have no clue. I really don't know what
11 that means, so somebody out there in the boiler business
12 is doing this, but I don't think it's shared knowledge,
13 it's not common knowledge to the boiler industry. So how
14 do we take advantage of knowing how to apply a parallel
15 position control when we don't even know what it is?

16 MS. BROOK: Okay, well, excellent comment, and
17 Jon is coming to the front to try to help a little bit,
18 but we definitely will want to get Matt back in touch
19 with you as soon as possible.

20 MR. SMELCER: All right.

21 MR. MCHUGH: This is Jon McHugh again. I would
22 recommend that you talk with Matt. Basically, this is an
23 actuator, so a stepper motor, or other type actuator that
24 adjusts the gas valve and adjust the speed of the
25 variable speed drive, so that you're getting the proper

1 gas and fuel mix over the range of your boiler.

2 MR. SMELCER: I think from what you just
3 described, I can say that our boilers work off of a
4 negative pressure principle and they really, they induce
5 air at a given pressure and the pressure drop across
6 the valve itself is what dictates the flow, and the speed
7 of the blower is what dictates the flow. You can't
8 regulate it any other way, other than by blower speed.
9 If you do, you get a flame mount. So these things don't
10 apply to modern technology of boiler set.

11 MR. MCHUGH: And your particular boiler set that
12 you use as principle, are there a particular size range
13 that this applies?

14 MR. SMELCER: We're headed up to five million
15 with them.

16 MR. MCHUGH: Okay, thank you. So we'll take this
17 information back to Matt and we'll get you in contact
18 with him.

19 MR. SMELCER: Yeah, I think what we need to
20 decide is to make sure we know what your intent is and if
21 there's another way to get there, either by description,
22 you know, this describes a specific thing, if it's a
23 generic description, then we need to change -- to get to
24 where you want to get to, then I'm all for that.

25 MS. BROOK: Right, and I think that is the intent

1 and it could be that we are using inappropriate
2 terminology for our desired intent, and we can definitely
3 work with you to clarify that. And we really do
4 appreciate you calling in because we really need to hear
5 experts' feedback for us to be able to develop a
6 successful proposal, so we really do appreciate your
7 time.

8 MR. SMELCER: Well, I can say we definitely
9 appreciated the opportunity to be able to be on the WebEx
10 now, that was definitely free and open to the public and
11 that's why we participated.

12 MS. BROOK: Good, great. Do you have any other
13 comments right now?

14 MR. SMELCER: I -- you know, I have others, but
15 if he's going to get in touch with me, let's not waste it
16 here, but just keep going.

17 MS. BROOK: Okay, that sounds great. Thanks. So
18 we do have one more proposal for process boilers, which
19 I'm going to bring up real quickly.

20 Okay, so just to kind of ground this a little
21 bit, we did have a process boiler set of proposals back
22 in April and at that time we didn't bring this 02 trim
23 part of the proposal forward because we still were
24 working out some issues, or potential issues, so now
25 we're just trying to bring this into the fold for the

1 rest of the proposed process boiler recommendations. So
2 this proposal basically would apply to process boiler
3 systems greater than 10 million Btu hours, or larger, and
4 so the proposed Code language is that these boilers will
5 maintain an excess oxygen concentration less than or
6 equal to three percent by volume on a dry basis over the
7 entire firing range, and the combustion air volume will
8 be controlled in respect of firing rate or flue gas
9 oxygen concentration and, again, the use of a common gas
10 and combustion air control link or jack shaft would be
11 prohibited.

12 MR. SMELCER: Here again, if I may, I think the
13 comment is going to be the same. That particular
14 language is very specific, and I think we just need to
15 put that in generic terms of what you're ultimately
16 wanting to achieve by gained efficiency, to increase
17 performance of the boiler, rather than that very specific
18 language because that's going to be difficult for a lot
19 of modern boilers today.

20 MS. BROOK: Okay, so I think that is what we
21 wanted to hear about and why we wanted to bring it
22 forward. So, you are suggesting that, rather than
23 prescribe several different measures, that we suggest an
24 overall efficiency improvement?

25 MR. SMELCER: Just pick a number that we need to

1 get to and we will decide how to get there.

2 MS. BROOK: Uh huh, okay.

3 MR. SMELCER: What we're dabbling in, we're
4 dabbling in specific boiler designs that may be 30 years
5 old right now. They just don't operate this way anymore,
6 they don't use these things anymore -- a majority of the
7 boilers don't use these things anymore.

8 MS. BROOK: Well, I think maybe that's the intent
9 is that we're bringing up the floor here, that while your
10 boilers and other boilers that you know of, that this
11 isn't even an issue, but maybe there are some laggards
12 out there that we would be improving if we had these
13 requirements. Are you saying the problem is they are so
14 prescriptive that there's no way even the best efficient
15 boilers can comply with this?

16 MR. SMELCER: No, no. I'm saying this, I'm
17 saying the intent is to improve the efficiency. How much
18 do you want to improve it? We'll figure out how to get
19 there. To use flue dampers, for instance, wouldn't be
20 relevant to us, we'll go condensing, we don't need to
21 have it prescribed to us or we'll be using somebody
22 else's boiler to get there.

23 MS. BROOK: Okay, okay.

24 MR. SMELCER: Do you get where I'm going?

25 MS. BROOK: Yeah.

1 MR. SMELCER: But what is your gain you want to
2 get? What does this interpret in the terms of improving
3 efficiency, what that is, and that would be the voltage,
4 and we'll --

5 MS. BROOK: No, that's an excellent comment. I
6 think we've definitely heard that before, that some of
7 our standards are overly prescriptive, and therefore
8 constraining the market in ways that are inappropriate,
9 so we appreciate --

10 MR. SMELCER: Uh huh. You need more efficiency
11 and we know we can get you there, we just need to know
12 how much gain you want to get.

13 MS. BROOK: Okay, all right.

14 MR. SHIRAKH: That's a good comment, thank you.
15 Jon.

16 MR. MCHUGH: I have a clarifying question. So,
17 is your issue with the 02 trim control -- is your concern
18 about that it spells out a term of art called "02 trim
19 control?"

20 MR. SMELCER: Yes.

21 MR. MCHUGH: And so would you actually have a
22 problem with a requirement that requires that you
23 actually get a particular 02 target over the firing range
24 and under different atmospheric conditions? Because the
25 intent of this particular measure is that, depending on

1 humidity, air pressure, etc., you know, fixed type
2 controls may not be producing the right mix of gas and
3 air to hit the particular combustion efficiency targets
4 associated with this particular control, but that if the
5 requirement was that, over the full range, and over the
6 various atmospheric conditions that you're able to hit
7 this target, is that generic enough? Or are you saying
8 that you actually don't want to be -- you don't want to
9 see something that looks at combustion efficiency, but
10 looks at the overall thermal efficiency of the boiler?

11 MR. SMELCER: Oh, we're always in favor of
12 thermal efficiency, whether we actually put the water.
13 What I can say is, if we play with those other numbers,
14 the design of a boiler has gotten so precise these days
15 that, when we're designing a burner, a particular burner,
16 it's not nearly as flexible as the old days in the old
17 atmospherics. We're doing powered burners, induced strap
18 type burners, we're doing direct vent burners, and those
19 just don't have the flexibility, especially on pre-mix
20 burners, that can operate in the manner that we're
21 describing. You just can't tweak them like that, they
22 don't like to be tweaked. They run at a given sweet
23 spot, and they run all day, but if you try to lean them
24 out, they'll give you bad performance. If you try to
25 rich them up, they give you bad performance. But they

1 will give you a great efficiency if you design for that.
2 You have to use the burner, you're not as liberal in the
3 burner as you can in other aspects of the boiler, but the
4 burner, you can't tweak that CO₂ as evenly on a lot of the
5 modern day burners these days. That, again, is something
6 that is generally around atmospheric burners, and all of
7 the other type of language that we've discussed here is
8 with reference to atmospheric burners, and yes, they're
9 quite flexible, you can do a lot of things to get where
10 you want to go with the flue damper and the O₂ control,
11 and whatnot, but not in powered stuff.

12 MR. MCHUGH: So just to clarify a little bit,
13 you're talking about atmospheric burners -- this here is
14 all talking about forced draft boilers.

15 MR. SMELCER: Yes.

16 MR. MCHUGH: And the target is essentially the no
17 greater than three percent O₂ in the stack gas, and the
18 question is, would it be appropriate to have a standard
19 that actually sets an O₂ limit across the firing range
20 and across different atmospheric conditions?

21 MR. SMELCER: And I'm saying to you that I would
22 not go there.

23 MR. MCHUGH: You would not go there, okay. You
24 would focus just on thermal efficiency over the broad
25 range of atmospheric conditions, and thermal efficiency

1 over the broad range of firing rates?

2 MR. SMELCER: Yes. It's far less -- I mean, it's
3 far easier for us if you say, "All right, I need to
4 improve the efficiency by X." You know, "I need to get
5 there. Give me that." I can get there in a variety of
6 ways, rather than having to take the steps that you've
7 given me because I may not be able to achieve it through
8 those steps. My boiler won't allow me to do that.

9 MR. MCHUGH: I see. And, again, you don't really
10 have a problem with trying to hit a certain thermal
11 efficiency at different firing rates, that's not a
12 problem, it's you'd rather be lumped into thermal
13 efficiency whether there's multiple points that thermal
14 efficiency is measured and that sort of thing. Is that
15 correct?

16 MR. SMELCER: I wouldn't say I wouldn't have a
17 problem, that's not the proper choice of words, I would
18 say it would be far less difficult. I would have work to
19 do, but it would be far less difficult than having to go
20 at it in the way that is being prescribed. We'll figure
21 out how to get there, but it's going to be work, it's not
22 going to be it just happens tomorrow, it's going to be
23 work, but it would take me a long time to take the
24 prescription here and try to go at it in that sense. At
25 best, I'd have to redesign the whole boiler.

1 MR. MCHUGH: Okay, thank you very much. I now
2 understand your issue, I appreciate that.

3 MS. BROOK: Okay, I don't think we need to go
4 into detail on this proposal, it's part of the larger
5 process boiler proposal, and that will be posted online.
6 I think we have heard excellent comments on this already.
7 Just to quickly walk through the appropriate slides,
8 these are a similar set of assumptions for the energy
9 analysis and also the installed costs, very similar to
10 what we saw for the commercial boiler, as well as the
11 maintenance cost assumptions. It does, at least in this
12 analysis, look to be very cost-effective with a benefit
13 cost ratio of almost two. And that's really all we have,
14 unless somebody else wants to make comments.

15 STAFF: An online comment from Joe Wallace. He
16 wanted to be included in the follow-up that Jim was
17 supposed to get. In addition, he wanted to point out
18 that there was a difference in process boilers and
19 commercial boilers. In addition, I think that A.O. Smith
20 would have a problem with any added, the changes to gas
21 and air mixtures, also think that third party certifying
22 body would have a problem with it, as well.

23 MS. BROOK: Okay, great. Thank you. So we will
24 connect Joe with the communication that we have and Matt
25 has with Jim.

1 MR. SMELCER: Who was that name, please? Would
2 you repeat the name?

3 MS. BROOK: Joe Wallace.

4 MR. SMELCER: Joe Wallace.

5 MS. BROOK: Does he have a company?

6 MR. SMELCER: If you could get his name and
7 information so that Matt could also --

8 MS. BROOK: Yes, we'll do our best to do that.
9 Thank you.

10 MR. SMELCER: Uh huh, thank you.

11 MR. SHIRAKH: Okay, if there are no comments,
12 we're going to move to solar water heating for
13 restaurants.

14 MS. BROOK: All right, this is another proposal
15 that was put together by the case team and do we have
16 Nate online in case we need to answer detailed questions?
17 We'll find out. So, this is a proposal to add solar
18 water heating requirements to commercial restaurants. So
19 the suggestion in the base code is to add a required
20 solar fraction of 25 percent for restaurants 12,600
21 square-feet or larger and to introduce a restaurant hot
22 water demand profile into the F chart or equivalent solar
23 fraction calculator, and to update the compliance manual
24 and compliance forms to provide guidance on this new
25 measure.

1 The other suggestion is to introduce an hourly
2 solar model and restaurant hot water demand profile and
3 integrate it into our performance compliance software,
4 the nonresidential alternative calculation method, and
5 change it from an optional capability to a minimum
6 capability. Energy savings and energy cost savings were
7 modeled, the proposed standards case, using the TRNSYS
8 solar calculation method used in active indirect Glycol
9 with natural gas storage tank technology across all 16
10 climate zones, and compared it to a base case with no
11 solar in the hot water system. And the detailed
12 assumptions and formulas are in the case report, which
13 should have been posted.

14 So this is just an explanation of the solar
15 fraction and so it includes the energy delivered to the
16 hot water load and the annual amount of energy used by
17 the auxiliary water heater or backup element of the solar
18 system, and it includes the parasitic energy in the
19 calculation. So this explains how to get at the annual
20 solar fraction using the solar -- I knew this yesterday,
21 but I don't know what the "R" stands for. Thank you,
22 Solar Rating Council is the source for this annual solar
23 fraction calculation. So this is hard to read, but it is
24 in the case report, it basically shows that, in all of
25 climate zone 1, this proposal for solar component to the

1 hot water system for commercial restaurants is cost-
2 effective, so our proposed standard language is that all
3 service water heating systems will comply with the
4 applicable requirements of our hot water sections of the
5 Code, and that service water heating systems providing
6 hot water to restaurants that have a conditioned floor
7 space greater than 12,600-square-feet will have a passive
8 reactive solar system complying with the freeze and
9 overheat protection guidelines given by the Solar Rating
10 Council and complying with either of the following
11 options, either the solar system is sized to provide 25
12 percent of the energy for water heating, and if it uses a
13 pump, the pump shall have an electronically commutated
14 motor, or the active solar system has all of these
15 prescriptive characteristics.

16 So the idea here is that you don't have to go to
17 a full performance compliance approach using our
18 software, but you could do either one of these and meet
19 our prescriptive requirements, either size it to meet 25
20 percent, or have the system be a glazed flat plate
21 collector with an area of at least one square foot of
22 collector per 50 square feet conditioned floor space,
23 have the solar storage tank have an internal volume of at
24 least one gallon per square foot and collector and
25 insulated according to Section 113(C)(4) and the

1 collectors would have a Rating Council rating with a Y
2 intercept no less than .706 and a slope no less than
3 negative $-.865$ Btus per hour per square foot per degree
4 Fahrenheit, and that the collector shall face within 35
5 degrees of due south and have it tilt angle of at least
6 14 degrees from the horizon. And that over 95 percent of
7 the collector area will be unshaded for at least eight
8 hours of the Equinox and pumps will have an ECM loader.
9 So the idea here is to be very prescriptive, but not have
10 to prove that you get a 25 percent solar fraction, or to
11 basically meet it in a more performance-based and not
12 meet all of these prescriptive requirements. And this
13 would apply to every climate zone except for climate zone
14 1.

15 In the Nonresidential Compliance Manual, we would
16 add information about this new measure, explaining what
17 our new Code language would be, and how to comply with
18 it, so this basically repeats the information that was, I
19 mentioned, in the Code language. This is another
20 recommendation for our Compliance Manual to help people
21 do their solar water heating calculations using the Solar
22 Rating Council methodology and it sounds like there's a
23 calculator that is undefined at this point, unless you
24 know of a solar calculator named XXXX.

25 On the compliance forms, we will need to add the

1 building area and the restaurant or dining categories and
2 solar fractions to help with compliance for this new
3 measure. And do we have any questions or comments? And
4 do we have Nate on the phone, by any chance? Oh, okay,
5 thanks, Nate.

6 MR. GABEL: Mike Gabel, Gabel Associates. So one
7 question is do you guys have an idea of the magnitude of
8 this 25 percent service hot water requirement in the
9 performance approach? I mean, is it -- what percentage
10 of TD Energy, roughly, are we talking about? A couple
11 percent? Or --

12 MS. BROOK: I don't know and I don't know if you
13 could tell -- I mean, I would have to look at the table
14 of TDV saving and compare that to -- are you looking for
15 just the portion of the water heating budget?

16 MR. GABEL: Well, no, actually just the idea of
17 what kind of a tradeoff would be necessary to trade out
18 of this thing and just try to get a feeling, so and some
19 kind of a future report or summary of this information,
20 that would be kind of useful, just as a quick table, a
21 study to show what that magnitude is. The other thing I
22 was thinking about as far as a trigger goes, there are
23 some kind of buildings which use service hot water or
24 process hot water loads that are equal or greater than
25 restaurants, and I'm thinking certain kind of laundries,

1 or -- I'm wondering whether there is a trigger besides
2 restaurants that you could put in there, a building that
3 uses more than so many gallons per day per square foot,
4 or something, if you're going to be using processed hot
5 water, it would trigger the same requirement.

6 MS. BROOK: Yeah, so it's a process hot water
7 requirement, not a restaurant requirement.

8 MR. GABEL: Yeah, I like the way generally
9 because restaurant is simple, it's clear-cut, it is an
10 occupancy-based, but to leave the door open to include
11 other buildings that might meet the requirement. I don't
12 know how you'd do that in the ACM, but you would have to
13 figure out how the ACM would handle that, you know, sort
14 of just logistically in terms of the inputs. If you
15 don't select restaurant occupancy in the ACM, how does it
16 know you've exceeded the process hot water requirement?
17 Just little details like that, that you have to think
18 through, so...

19 MS. BROOK: Okay, thank you. That's very good
20 suggestions.

21 MR. HODGSON: Mike Hodgson, Con-Sol. Just a
22 quick information question. I think Tako and Grumpus are
23 the two solar pump manufacturers and I see ECM motors
24 required. I haven't played with Tako and Grumpus in a
25 long time and I don't know if they have ECM motors, maybe

1 your consultant knows that, but I'm just curious.

2 MS. BROOK: Okay.

3 MR. KEESEE: Mike Keese from SMUD. Just to echo
4 the comments of Mike Gabel, I think we would look at the
5 same thing, other high water use buildings, maybe hotels,
6 the other one, they have lots of flat roofs, some of them
7 anyway.

8 MS. BROOK: Good, thanks. Okay, so we will
9 definitely get back to you and help you understand the
10 magnitude of this measure in regards to what would be
11 needed to not do it in the performance approach, and also
12 see if our analysis would support moving towards a
13 process hot water requirement rather than a restaurant
14 specific requirement. And then we'll also check to make
15 sure that the dominant motor manufacturers would be able
16 to provide ECM motors for this application. Anything
17 else?

18 MR. SHIRAKH: I wonder if the roof area is going
19 to become a problem with the requirements for this and
20 skylights and future photovoltaics, with the fire issues,
21 and so forth. Is that going to be a limitation?

22 MS. BROOK: Okay, I mean, I don't know that we
23 have to have it on the roof, but I think that's a good
24 point.

25 MR. MCGARAGHAN: Mike McGaraghan, Energy

1 Solutions. And that did come up in our stakeholder
2 workshops and originally we had put together an analysis
3 based on 30 collectors, or something, and the solar
4 industry told us that that's really unrealistic for
5 restaurant applications, so I believe the 25 percent
6 solar fraction is only about six collectors and it was a
7 big jump down to address the roof space issue.

8 MR. SHIRAKH: Thanks.

9 MR. KEESEE: Mike Keese from SMUD. We didn't
10 look at this specifically, but when Enrel did some work
11 for us on zero energy commercial buildings, they used
12 sort of a rule of thumb about 75 percent of the roof
13 area.

14 MS. BROOK: Is available or not available?

15 MR. KEESEE: Available for solar, period, and
16 then the rest would then be reserved for mechanical
17 equipment or skylights. It does run into a problem when
18 you get above two stories because then things start to --
19 the other part of it would be that, although it's very
20 very limited now and we have very little experience in
21 it, there is at least one product that I'm aware of that
22 is a combined solar thermal PV product out there, I'm
23 hoping to get some of it and take a look at it, and see
24 how it really does. It comes with quite a pedigree,
25 according to them, anyway, so I mean, that's another

1 place where we want to ask the industry to start looking
2 at what to do, so that could be a good PIER project.

3 MR. SHIRAKH: Thanks, Mike.

4 MR. GABEL: Mike Gabel again. The reason I ask
5 the question about the magnitude is I think where you
6 have substantial cooling loads, I mean, we have a big TDV
7 energy use in general, and I think this is not going to
8 be that big a deal to overcome with the performance
9 approach --

10 MS. BROOK: For water heating dominant --

11 MR. GABEL: I think if you have a low TDV energy
12 building in a mild climate without much cooling, that the
13 roof issue might possibly come into play, I don't think
14 it's going to be a big issue, but that's the only place
15 where I would look at it as being potentially a problem,
16 as far as tradeoffs go.

17 MS. BROOK: Okay, okay. Any other issues with
18 solar water heating for process loads?

19 MR. SHIRAKH: Anyone online? Okay, we'll move to
20 the -- sorry, Cathy.

21 MS. CHAPPELL: Cathy Chappell, Heschong Mahone
22 Group. We are also, as was presented before, we're
23 working on the multi-family water heating, solar water
24 heating, and there had been some discussion about also
25 applying that to the analysis back to hotel/motels, and

1 so I was trying to confirm whether we had actually gone
2 through and done that, but that might be incorporated
3 into that case work, so it wouldn't need to be part of
4 this, but we need to confirm and coordinate.

5 MS. BROOK: We need to make sure that they're
6 consistent, right?

7 MS. CHAPPELL: Yes, exactly.

8 MS. BROOK: Okay.

9 MR. SHIRAKH: Any others? Okay, we'll move to
10 the last topic of the day which is - this was a case
11 project done by the IOUs and Taylor Engineering, Mark
12 Hydeman, he's the author of this, he's not here, so I'll
13 present it. This has been presented several times in the
14 case holder meetings. So we'll talk about the current
15 Code requirement 2008 which basically, you know, mostly
16 they regulate either larger motors and the type of motors
17 that we are considering under this initiative, which are
18 the ones at the bottom; the permanent split capacitor
19 PSCs and electronically commutated EC motors or brushed
20 EC motors are not really regulated under the current
21 Standards in 2008. The new energy policy in the
22 conservation act requirements for small motor does not
23 cover motors that are part - equipment that is covered
24 under other efficiency requirements. So basically, if
25 there is a device, an appliance that is regulated, then

1 it's covered by those regulations and it wouldn't be
2 covered under the requirement that we're proposing today.
3 For fractional motors below one horsepower, there's no
4 California Standards except for series fan power and VAV
5 boxes. And the Code language for that is repeated here,
6 that's basically as Title 24 2008 Section 144(C) and it
7 reads, basically it says, "Fan motors with series fan
8 power one horsepower or less shall be EC Motors." Sorry,
9 I can't read that when I have to read the screen behind
10 me. So the requirement is motors that are less than one
11 horsepower shall be EC motors and shall have minimum
12 efficiency of 70 percent.

13 The other requirement is in Section 126 of the
14 Standards, which is the refrigerated warehouse, which
15 basically says that, for evaporators, the fan power
16 operator using coolers and freezers have two
17 requirements, it says single-phase fan motors that have
18 less than one horsepower and less than 460 volts shall be
19 EC motors. So it's very similar to the other one. So
20 those are the only requirements in the existing
21 Standards.

22 So there are two types of motors, there is
23 electrically commuted motors and DC brushless motors with
24 permanent magnet and rotors built in, they're both DC
25 motors, and DC motors tend to be more efficient than AC

1 motors and they tend to be easier to control. They do
2 have higher efficiencies which range from 65 to 85
3 percent. They do have drawbacks, though, they tend to
4 have lower power factors, which is in the 40 to 60
5 percent range. And they also tend to have higher total
6 harmonic distortion than the PSC motors. The PSC motor
7 is the Permanent Split Capacitor Induction motor and
8 efficiencies are extremely low in 12-45 percent range,
9 again, you know, the range for the proposed motors is 65-
10 80, much higher.

11 And this graph basically illustrates the
12 difference between the PSC motor and this is the watts
13 per CFM, this axle, and it clearly shows that the ECM
14 motors are far superior in efficiency than the PSC
15 motors.

16 And this graph pretty much demonstrates the same
17 thing. Originally when we were developing this, we were
18 thinking about limiting the size from one over 12
19 horsepower to one horsepower, but later on we had some
20 discussions to remove the lower end and basically make
21 this requirement applicable to all motors less than a
22 horsepower, so this range is not very relevant anymore,
23 but it does demonstrate the different efficiencies for EC
24 motors, depending on the number of poles, the efficiency
25 range is between -- it could be as high as 85 percent, or

1 as low as -- I think that's 70 percent if I'm reading it
2 correctly, so much more efficient motors than the PSC.

3 This is some cost data that Mark collected from
4 different sources and the other costs here are additional
5 costs relative to the base case. And it actually holds
6 fairly constant over the range of different motors, for
7 instance, the three-quarter horsepower motor is about 170
8 for one-half, it's about 160 for a quarter, it's 130 and
9 for one-eighth, for some reason, it goes back up, so
10 maybe it's not a very common motor. And for a little bit
11 larger motors, one and one half, it's about 185; for one-
12 eighth, it is 185 again, this is from a different source,
13 which is within the ballpark of what we had up here, and
14 for a quarter, it is about 140, it was 130 up here, so I
15 think that pretty much brackets the cost, gets the cost.

16 So for the preliminary analysis, he looked at two
17 different cases, the case A is a direct drive with no
18 balancing, which means basically no adjusting speed in
19 the field. And for this case, there was no start-up
20 costs, you basically put the motor in there as you always
21 would, and the system would run, and in this case, the
22 motor horsepower would be equal -- the brake horsepower
23 would be equal to the motor horsepower for the EC or the
24 brushless EC. The difference between that scenario and
25 the base case is that, here, you actually are required to

1 do some balancing to make sure that the speed controller
2 works, and he added \$100 additional cost because of this
3 balancing that is required. And he assumes that he brake
4 horsepower is equal to 80 percent of the motor
5 horsepower.

6 Hard to read this one, but it's essentially --
7 this is the base case here and this is proposed A and
8 proposed B, different motor sizes, this is 1/12, this is
9 1/8, and 1/4. And the costs are down here. And pretty
10 much for 1/12 for proposed A, it's about \$241.00, and for
11 proposed B it's \$341.00. For the 1/8 horsepower, pretty
12 much the same thing. For 1/4, again, it's just a little
13 bit less. So the costs are anywhere from about \$182.00
14 to \$340.00, depending on the size of the cost and which
15 scenario.

16 This graph in this column, it's average cost, the
17 PV value, Present Value Dollars per kilowatt hours,
18 climate zones are here, and you know, the motor sizes are
19 listed up here, and what these are, are the period, the
20 life of the motor, if you will. And if it was five
21 years, 10 years, or 15 years, how many hours the motor
22 would have to run for this to be cost-effective. So if
23 you're talking about a five-year period, for a given
24 climate zone, let's take 12 as an example, the motor
25 would have to run 2,354 hours for it to become cost-

1 effective. For a 10-year scenario, it would be \$1,174,
2 for 15 years, it would be 783 hours per year. And down
3 below, there is the average hours for each lifetime and,
4 again, it changes, goes down, the prices vary. So this
5 one, this whole table was for no balancing, the next
6 table is the same thing, except it adds \$100 for the
7 balancing so that the costs go up somewhat. But it still
8 shows that it is very cost-effective, almost for all
9 motors and for different lifetimes.

10 And I guess he concludes here that the EC motors
11 and the brushless EC motor is cost-effective for systems
12 greater than 1/12 horsepower that run during the normal
13 occupied hours. Again, subsequent discussions with
14 stakeholders basically demonstrated that it's even cost-
15 effective for motors that are less than 1/12.

16 Essentially, if any of these motors run for more than
17 2,500 hours a year, they're going to be cost-effective.

18 The analysis is somewhat conservative because he
19 doesn't take any credit for reduced cooling energy and
20 most systems and conditions are balanced, so that \$100
21 that he assumes for the scenario B may not even be
22 applicable because they already have to do this anyway.
23 Title 24 reviews 15 year life for HVAC, so obviously the
24 longer the life, the more cost-effective this becomes.

25 The parallel fan powered VAV boxes should be

1 exempt because they only work in a heating mode, not the
2 cooling mode, so there will be an exemption for that.
3 And, again, this is the difference between the series fan
4 and the parallel fan and the main difference being that,
5 for the series fans, it works in both cooling and heating
6 mode, the parallel fan only works in the heating mode.

7 The EC motors have lower power factors and higher
8 total harmonic distortion and PSC motors which is
9 probably not a good thing, but the total current draw
10 will still be less than PSC motors because of the much
11 higher efficiency. And that's what the second bullet is
12 describing because there is no electrical premium for EC
13 motors as they have higher efficiency, so even though the
14 power factor is lower, the total current drive is still
15 less than the PSC and typically, if there is a power
16 factor problem with the facilities, you know, they can be
17 easily fixed with additional capacitors. And there is no
18 transformer penalty for EC motors because this fraction
19 of motors, they really don't contribute much to the total
20 building load. Okay, Mike.

21 MR. MCGARAGHAN: Mike McGaraghan. On that last
22 point, I just wanted to add that this research found that
23 some EC motors have lower power factors and that some
24 have comparable power factors, so the hard part was
25 figuring out which for which, it was really hard to get

1 data from manufacturers about the power factors of their
2 motors, so that could be another component of this
3 project, or it could be applicable to Title 20 to
4 actually test and list them so that everybody has that
5 information, but not all EC powers necessarily have lower
6 power factors, is my understanding.

7 MR. SHIRAKH: Thank you, Mike. So this is the
8 actual proposed Code language, the underline and
9 strikethrough is basically saying fractional HVAC motors
10 for pumps and fans shall meet the following requirements,
11 and the HVAC motors for pumps that are less than one
12 horsepower shall be electrically commuted motors and have
13 a minimum motor efficiency of 70 percent. So that's
14 basically the Code language. There are two exceptions to
15 that, motors and parallel fan powered terminal units
16 because those work in heating mode only, and motors
17 installed in space conditioning equipment certified under
18 Section 111 or 112, so those would be the two exceptions.
19 And he is deleting the definition for the series fan
20 powered terminal units and adding a definition for
21 parallel fan power terminal units. I'm kind of inclined
22 to actually keep both definitions in there and I talked
23 to John yesterday about this, so we'll probably keep both
24 definitions. And he is also making a modification to
25 Section 126, which is the refrigerated warehouses, and

1 the difference is here, that he is striking out the
2 electric commuted motors and replacing it to meet the
3 equipment efficiency of Section 144(C)(4), which is the
4 section we just looked at, so instead of having
5 requirements repeated here, he's just referring back to
6 the other section. So that's it for that topic, unless
7 there are any questions in the room or online.

8 MR. RICHTER: Yeah, this is Ira Richter from Heat
9 Craft.

10 MR. SHIRAKH: Go ahead, please.

11 MR. RICHTER: Yeah, the comment was made about
12 the power factors for PSC motors on the small horsepower
13 were in the high 90's, close to 100 percent, and on the
14 ECMS in the 50-55 percent.

15 MR. SHIRAKH: Right.

16 MR. RICHTER: But I do have a question about the
17 low end of this, the 1/12 horsepower and lower. I don't
18 know what efficiencies you used for these calculations,
19 but on EC motors that are that small, there really isn't
20 that much of a difference in efficiency between an ECM
21 and a PSC motor, but there is a significant cost penalty
22 and I just was curious what kind of efficiencies you
23 used.

24 MR. SHIRAKH: Jon, do you know? The base case
25 motor efficiency was 29 percent.

1 MR. RICHTER: Okay.

2 MR. SHIRAKH: And it was 69 percent for the EC
3 motors.

4 MR. RICHTER: The EC motors on -- yeah, we're
5 running around 70 percent and about 29 percent for shaded
6 pole, but a PSC could push you all the way up to the mid-
7 50's, and I'm just really wondering if you would consider
8 keeping the 1/12 horsepower and put a prescriptive in
9 there for a PSC motor. I'm just thinking it might be
10 more cost-effective to take that approach.

11 MR. SHIRAKH: So for only 1/12th?

12 MR. RICHTER: 1/12th or lower.

13 MR. SHIRAKH: Okay. Your name was again?

14 MR. RICHTER: Ira Richter. Also take into
15 consideration that the stakeholder meeting for the
16 refrigerated warehouses is going to want reduced run time
17 on those motors at off cycle, they're changing the
18 wording on the exception.

19 MR. SHIRAKH: Okay.

20 MR. RICHTER: So that's going to affect the
21 economic analysis, as well.

22 MR. SHIRAKH: Okay. Any other comments? There's
23 a question in the audience. Ira, can you give us your
24 phone number?

25 MR. RICHTER: Yeah, 770-465-5832.

1 MR. SHIRAKH: Thank you. Jon.

2 MR. MCHUGH: Hi Ira, this is Jon McHugh. The
3 table that is shown here is for air-conditioning
4 equipment, not refrigeration equipment, so what I think
5 you'll find is, for the calculations here, you'll
6 actually find lower hours of operation than in
7 refrigeration equipment. The other issue is that, for
8 the refrigeration industry, I know that there are
9 differences between list prices and contractor prices,
10 and what we've heard is that the incremental costs for
11 the fairly small evaporator, the incremental cost for an
12 EC motor on evaporator can be as low as 25 bucks for a
13 1/20th horsepower motor. And my understanding is that
14 this has to do with the transformation of the market
15 associated with EC motor requirements in ISA and in Title
16 24, and so I was wondering if these kinds of costs
17 actually match what your expectation is in terms of the
18 cost to contractors.

19 MR. RICHTER: I can't speak for the contractor
20 costs, but I think the \$25.00 adder, especially between
21 shaded pole and ECM is a bit low.

22 MR. SHIRAKH: Okay, thank you. Any other
23 questions or comments? Online? Okay, that was the last
24 topic of the day and, again, we're going to do this again
25 on Tuesday at 9:00. It will be all mostly residential

1 topics plus the administrative stuff which is both Res
2 and Nonres. So, thank you so much and we'll see you on
3 Tuesday.

4 (Adjourned at 2:10 p.m.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF,

I have hereunto set my hand this 24th day of August, 2011.



Kent Odell
CER**00548