

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of,)
) Docket No. 11-AAER-1
Efficiency Committee Scoping)
Workshop)

Efficiency Committee Scoping Workshop:
Potential Topics for Future Appliance Efficiency
Rulemakings

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

DOCKET 11-AAER-1	
DATE	AUG 31 2011
RECD.	SEP 20 2011

WEDNESDAY, AUGUST 31 2011
10:07 A.M.

Reported by:
Kent Odell

 **ORIGINAL**

Commissioners Present

Karen Douglas, Presiding Member, Efficiency Committee

Staff Present:

Paula David
Ken Rider
Michael Leao
David Hungerford
Paul Eilert
Galen Lemei

Also Present (*on phone)

Panelists

Panel 1:

Noah Horowitz, NRDC
Pierre Delforge, NRDC
Henry Wong, Intel
Stephen P. Dulac, DirecTV
Gary Langille, Echo Star
Doug Johnson, CEA
Brian Fortenberry, EPRI
Frank Sharp, EPRI
Ted Pope representing California IOUs, Energy Solutions

Panel 2:

Randal Higa and Michael McGaraghan, SCE and Energy Solutions
With California IOUs
Konstantinos Papamichael, California Lighting Technology
Center
Terry K. McGowan, American Lighting Association
Dick Upton, American Lighting Association
Alex Boesenberg, NEMA

Panel 3:

Noah Horowitz, NRDC
Steve Schmidt
Gary Fernstrom, PG&E with IOU's

Panel 4:

Gary Fernstrom, PG&E with IOU's

Ron Gorman, SDG&E with IOU's

Yanda Zhang, HMG

Also present:

Elton Sherwin, author of "Addicted to Energy"

Bernio Rosco, California Cable and

Telecommunications Association

Jim Cardoch, Intel Corporation.

Charlie Stephens, Northwest Energy Efficiency Alliance.

*Francis Rubinstein, Lawrence Berkeley National

Laboratory

*Bob Earnhardt

I N D E X

	Page
Opening Comments	6
Commissioner Karen Douglas, Presiding Member	
Staff Overview	6
Michael Leao, Manager, Appliance Efficiency Program	
Electronics Discussion Topic:	18
Consumer/Office Electronics Panel	
Moderator: Ken Rider, Clean Energy Commission	
Participants:	
Noah Horowitz, NRDC	
Pierre Delforge, NRDC	
Henry Wong, Intel	
Stephen P. Dulac, DirecTV	
Gary Langille, Echo Star	
Doug Johnson, CEA	
Brian Fortenberry, EPRI	
Frank Sharp, EPRI	
Ted Pope representing California IOUs, Energy Solutions	
Lighting Discussion Topic:	87
Lighting Panel	
Moderator: Paula David, Clean Energy Commission	
Participants:	
Randal Higa and Michael McGaraghan, SCE and Energy Solutions With California IOUs	
Konstantinos Papamichael, California Lighting Technology Center	
Terry K. McGowan, American Lighting Association	
Dick Upton, American Lighting Association	
Alex Boesenber, NEMA	

I N D E X

	Page
Water Discussion Topic:	118
Water Using Products	
Moderator: Paula David, California Energy Commission	
Participants:	
Noah Horowitz, NRDC	
Steve Schmidt	
Gary Fernstrom, PG&E with IOU's	
Other Appliances Discussion Topic:	139
Other Appliances	
Moderator: Ken Rider, California Energy Commission	
Participants:	
Gary Fernstrom, PG&E with IOU's	
Ron Gorman, SDG&E with IOU's	
Yanda Zhang, HMG	
Public Comment	153
Closing/Next Steps	
Michael Leao, Manager, Appliance Efficiency Program	
Adjournment	171
Certificate of Reporter	172

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

AUGUST 31, 2011 10:07 a.m.

COMMISSIONER DOUGLAS: All right. It looks like everyone is ready to get going. Good morning. I'm Commissioner Karen Douglas, the presiding member of the Efficiency Committee. To my left is David Hungerford who's serving as my Advisor and my Advisor Galen Lemei will be here shortly.

I'd like to welcome everybody to the Efficiency Committee's Scoping Workshop on Potential Topics for Future Appliance Efficiency Rulemakings. It's good to see that we have a lot of people here. I'm sure we may have people on the phone and WebEx as well. So I look forward to hearing from all of you as we go forward.

Let me turn this now to staff to give—to Mike if you could kind of give people the logistics and so on.

MR. LEAON: Okay. Thank you, Commissioner. Good morning and happy to see that we have a good participation in today's workshop. A few housekeeping announcements. Restrooms are directly across from Hearing Room A. There is a little cafeteria opposite the stairs, underneath the white awning. There are some—we have a short lunch today, 45 minutes. There are

1 some restaurants close by straight down O Street, just
2 two blocks down, at 11th and O there's a La Bou, there's
3 a Mexican restaurant, there's also a cafeteria in the
4 Secretary of State's Building which is also on 11th and
5 O. In the event of an alarm, I would ask that you
6 follow Commission Staff outside the main doors here and
7 we'll evacuate to the park, kitty corner from the
8 Commission, across 9th and P Street.

9 Okay. Regarding the agenda today, we do have
10 a full agenda. We'll have four panels, a panel on
11 electronics, lighting, and a panel on water and a catch-
12 all panel, kind of an ad hoc panel to conclude. So
13 we're going to have quite a full panel discussion for
14 electronics and lighting. I am asking that you hold
15 public comments until the public comment period. If we
16 have some time during the panel discussion to take a few
17 comments, we'll do that. But based on the number of
18 speakers we have, I'm thinking we're not going to have
19 much time during the panel discussions; especially
20 during electronics and lighting to take questions. So
21 I'd encourage you to also submit written comments to the
22 docket.

23 Okay. Peter, if you could tee up my
24 presentation please.

25 MR. STRAIT: All right, one moment. Which

1 presentation is it that you're--?

2 MR. LEAON: It's the one you just loaded up.

3 I think it's on the bottom there on your list.

4 MR. STRAIT: This one? All right.

5 MR. LEAON: And if you could go to the next
6 slide, Peter. And I won't take too much time on this.
7 I'll go through this fairly quickly. The purpose of the
8 workshop today is, of course, to take your comments and
9 feedback on potential topics to include under a new
10 scoping order for appliance efficiency standards. We'll
11 hear presentations from various stakeholders today on
12 those topics that we included in the notice.

13 In general, the questions that we're looking
14 at for response as were indicated in the notice were
15 what topics should be prioritized and why, what other
16 topics from what we've already identified should also be
17 considered and what topics should be eliminated and why.
18 So that's the type of feedback that we're looking for.
19 Again, I encourage you to submit written comments in
20 support of any oral comments you make today.

21 Next slide, Peter.

22 Of course our enabling legislation for
23 adopting appliance efficiency standards is the Warren-
24 Alquist Act. The Act authorizes the Energy Commission
25 to adopt regulations for minimum levels of operating

1 efficiency for appliances whose use determined by the
2 Commission requires a significant amount of energy on a
3 statewide basis. And efficiency standards must also be
4 feasible, attainable and cost-effective.

5 Next slide, Peter.

6 Regarding the impact of the efficiency
7 regulations, by 2009 approximately 31 percent or almost
8 18,000 gigawatt hours of California's energy savings
9 were achieved through appliance efficiency standards.
10 This saves about \$2.5 billion electric bills annually.

11 Furthermore, the appliance labeling
12 requirements in the State's appliance database also help
13 form the backbone of utility rebate programs. In
14 addition to setting efficiency levels, regulations also
15 include requirements, reporting requirements, marketing
16 requirements, labeling requirements and enforcement
17 rules.

18 Next slide, Peter.

19 The Commission's main policy documented is the
20 Integrated Energy Policy Report or IEPR. In the 2009
21 IEPR, a recommendation was included that the Commission
22 continue to adopt appliance standards for consumer
23 electronics, lighting, irrigation controls and
24 refrigeration systems. These standards are key for
25 obtaining several state policy goals including the

1 Commission's loading order in which efficiency comes
2 first. Also, new and existing building efficiency goals
3 under Assembly Bill 758 in Zero Net Energy Policy Goals
4 set by the Public Utilities Commission and the Energy
5 Commission. And also for helping to achieve greenhouse
6 gas reduction targets under the ARB scoping order.

7 Next slide, Peter.

8 Governor Brown's recent eight point energy
9 plan, the Governor also recognized the importance of
10 appliance efficiency standards specifically Governor
11 Brown recommended that the CEC adopt stronger appliance
12 standards for lighting, consumer electronics and other
13 products. And that the Commission should also increase
14 public education enforcement efforts so that gains
15 promised by efficiency standards are in fact realized.
16 And, further, that the federal law should be changed to
17 make it easier for California to adopt standards more
18 stringent than federal standards as we have the
19 authority to do with automobile emission standards.

20 Next slide, Peter.

21 So, again, summarizing the topics that we'll
22 be discussing today, we'll be discussing electronics.
23 This is an important quandary of products to consider
24 under the new scoping order based on their potential
25 energy savings. We estimated that we can achieve over

1 3,000 gigawatt hours of savings by adopting efficiency
2 standards for the topics that are under consideration.

3 Next slide, Peter.

4 Lighting, again, we think that this is a
5 fruitful area for efficiency standards. Again we think
6 that this is probably on the order of 3,000 gigawatt
7 hours or more. And a savings can be achieved through
8 the lighting sector.

9 Okay. Peter, next slide please.

10 And finally, other topics that are under
11 consideration include water using products and other
12 appliances. These in, combination with the lighting and
13 consumer electronics, we believe that we can save as
14 much as 8,000 gigawatt hours through developing
15 efficiency standards for these products.

16 Next slide, please.

17 Regarding our schedule for the scoping order,
18 we're having a workshop today. We are encouraging you
19 to submit written comments. Staff is going to carefully
20 consider the testimony from today and any written
21 comments that we receive and report back to the
22 Efficiency Committee regarding the nature of the
23 comments, the tenor, general direction and the overall
24 type of feedback that we're getting from stakeholders.
25 Based on that information and our legislative mandates

1 and policy goals, the Committee will consider the scope
2 and schedule for a new scoping order and we're hoping
3 that we can have a new scoping order adopted by October
4 and have that posted to the Commission's website by
5 November.

6 Next slide, Peter.

7 Again, through this process, once we have a
8 new scoping order in place, we are encouraging new
9 stakeholders to submit proposals for efficiency
10 standards. We do have a process in place where you can
11 work with staff to do that. We do have an electronic
12 template that we can share. If anyone is interested in
13 pursuing that, Peter, if you could go to the next slide.

14 I would encourage you to contact our program
15 staff working on standards development. Harinder Singh
16 is our lead person and his contact information is there.
17 Also, we have Ken Rider and his contact information is
18 there as well. This presentation will be posted on the
19 website so you can access that information from the
20 Commission's website.

21 And that concludes my presentation. Next on
22 the agenda we have a presentation from Pat Eilert with
23 PG&E who will be speaking on behalf of the California
24 IOUs or Investor Owned Utilities. And Pat, if we can
25 have you come up to the podium.

1 MR. EILERT: Okay. Thank you very much for
2 the opportunity to speak. I'm presenting just a brief
3 summary on behalf of the statewide Investor Owned
4 Utilities and the statewide team includes PG&E, San
5 Diego Gas & Electric, Southern California Edison,
6 Southern California Gas Company. There will be a number
7 of presentations later this morning and in the afternoon
8 by various folks representing the IOU team. These
9 people will include Randal Higa, Ted Pope, Mike
10 McGaraghen, Gary Fernstrom and Yanda Zhang.

11 So all of the work that the statewide team is
12 conducting under the auspices of the California Energy
13 Commission, the IOUs submit plans to the CPUC and both
14 the plans and the budgets are approved. CPUC also
15 provides ongoing oversight. A number of folks have
16 contributed to the technical content of what we're
17 presenting including ACEEE Ethos, Energy Solutions, HMG,
18 LED Consultants, Lighting Wizards and McHugh Energy
19 Consultants.

20 All of the IOU team is very interested in
21 feedback directly from industry. Feel free to contact
22 any of the three folks at the bottom of this slide or
23 anyone on the technical team.

24 Our agenda is in parallel with the CEC agenda.
25 This is just a brief overview of what the statewide

1 codes and standards program contains. We conduct the
2 advocacy for building codes and appliance standards.
3 Most of our work is aimed at California Energy
4 Commission proceedings but we also work with US DOE. We
5 also provide technical support for local governments
6 interested in reach codes that exceed state building
7 standards.

8 We also provide support for compliance
9 improvement to increase the realization rate for codes
10 that are actually adopted. These activities lead to
11 customer savings throughout the state.

12 Here I'm reemphasizing the long-term strategic
13 plan that Mr. Leason mentioned earlier because it informs
14 our program planning and activities fairly directly. As
15 stated here the strategic plan informs us that—to
16 support expanded building and appliance codes and
17 standards on an on-going basis and, more specifically,
18 to do something about plug loads.

19 And here is sort of a graphic that provides a
20 bit more information about plug loads. On top you see
21 the residential energy use on the left. You see plug
22 loads circled there are the largest load and on the
23 right you see that it's also the one that's growing the
24 fastest. And those plug loads include things like
25 electronics. A little bit further down you see things

1 like televisions and set top boxes as well. The bottom
2 two charts here show commercial electricity use.

3 And again, you see miscellaneous plug loads on
4 the right as one of the fastest growing loads going
5 forward as well as office equipment non-PC which
6 includes things like servers.

7 Another sort of different look at this is how
8 plug loads effect building codes and that's really
9 important as that's one of the state's policy goals is
10 to reach zero net energy in residential buildings by
11 2020. On the bottom, on the left hand column you see
12 measures that are directly affected by Title 24 Building
13 Codes.

14 In the middle, the blue, are the measures that
15 are effected by Title 24 indirectly. And, on top,
16 there's more than half of the building load is actually
17 not effected by building codes. So what we're doing
18 today effects whether or not we'll achieve zero net
19 energy going forward in any cost effective way.

20 So shown here are approximately 22 different
21 measures. The electronics and lighting trackers are
22 pretty similar to what Mr. Leao showed earlier with the
23 exception that we're adding small network equipment such
24 as routers and modems in the electronics track. In
25 lighting the exempt lamps at the bottom we're adding.

1 And there's a number of changes in other products in the
2 water tracker. For example, air filter labeling, power
3 factor interactive effects and so forth.

4 We would urge the Commission to conduct
5 parallel tracks in these areas. There's a lot of
6 potential energy savings on the table. And as a matter
7 of reference, 2004, 2005 and 2006 this is about the same
8 level of work--because at that time there were 22
9 measures adopted into code at that time.

10 On this chart we're showing the potential
11 energy savings estimates. In blue are the savings
12 associated with electronics. Yellow are lighting
13 savings. And everything else is shown in light blue.
14 As you can see, computers, displays and servers stand
15 out near the top for electronics. Multifaceted
16 reflector lamps and dimming ballasts, LED lamps and so
17 forth stand out in the lighting area.

18 So our estimate of the potential savings here
19 exceeds 10,000 gigawatt hours or about four percent of
20 the electricity use in California. From a demand
21 standpoint, lighting sort of moves toward the top here
22 in terms of potential savings from the topics we've
23 actually done calculations for would lead to a reduction
24 of about four power plants in the state.

25 Commercial clothes dryers, about 12 million

1 therms there and for water savings we're estimating that
2 there's a potential savings of about the annual water
3 usage for the City of Sacramento.

4 So here's the summary of--

5 MR. STRAIT: I apologize. We're having some
6 technical difficulties. One second. Testing. All
7 right. Our apologies, folks. We should have this
8 resolved in 3-5 minutes.

9 MR. EILERT: All right. Thank you everyone.
10 We were very close to being done before. So once again,
11 here are the potential benefits for the topics that
12 we've just done a very brief overview for. Again, we've
13 covered the fact that there's a potential to eliminate
14 four power plants, four percent reduction in
15 California's total energy use. In the AB 32 energy
16 efficiency goals there is an energy efficiency wedge and
17 the savings here would account for achieving 33 percent
18 of those goals. We estimate that the savings from these
19 proceedings could lead to a potential reduction of more
20 than \$100 per year per California household. And we
21 anticipate that there would be jobs created from these
22 energy savings.

23 That concludes my presentation. We will, of
24 course, in response to the proceedings be filling out
25 the information templates as requested by the California

1 Energy Commission. Once again, going forward, we'd be
2 very interested in working collaboratively with various
3 industries here to work through various issues. Thank
4 you.

5 MR. LEAON: Before we move to our first panel,
6 any questions from the dais for Pat?

7 COMMISSIONER DOUGLAS: No. No, thank you.

8 MR. LEAON: Okay. If we could have our panel,
9 our first panel, members come on up. We'd ask that you
10 introduce yourself, name and organization. And also if
11 you could provide your business card to the court
12 reporter and we'll get started on our first panel
13 discussion.

14 MR. RIDER: All right, folks. My name is Ken
15 Rider. I work for the Appliance Efficiency Program.
16 I'll be moderating this panel. Really glad to have
17 everyone that we have here today. Think that it will be
18 a very good discussion. I ask that when I introduce a
19 speaker if you could give briefly a little bit of
20 background and then go ahead into your presentation.

21 We're a little bit behind schedule so I ask
22 that you keep it to 5-10 minutes. We have eight
23 speakers in an hour and a half, I believe, to get
24 through these. If you can keep it focused that would be
25 really great. I'm going to go in rough order of the

1 speakers in the way they're listed on the agenda, I'm
2 going to go in that same rough order. We're going to
3 start with computers and servers and so I'd like to
4 start with Pierre Delforge of the NRDC. So if you could
5 go ahead and introduce yourself and give your
6 presentation. Thank you.

7 MR. DELFORGE: Thank you, Ken. My name is
8 Pierre Delforge. I work for NRDC. Before I start I'd
9 like to let my colleague Noah Horowitz just say a few
10 introductory remarks.

11 MR. HOROWITZ: Thank you, I'll be very brief.
12 My name is Noah Horowitz. I'm with the Natural
13 Resources Defense Council, NRDC. We're very supportive
14 of the scoping workshop. There are roughly 20 products
15 that are under consideration. We think that three
16 clusters make a lot of sense as they're common
17 stakeholders within the consumer electronics space,
18 lighting and water using products. I think you're going
19 to hear a lot of proposals out there. Some are more
20 fully baked than others and we think that this is the
21 beginning of a conversation. And we think that the
22 savings estimates are based on the best available
23 information and those will be refined over time but the
24 magnitude is quite significant as Pat Eilert just
25 mentioned. We're talking about billions of dollars of

1 savings here of more than a couple of power plants,
2 millions of tons of CO2. So to put the consumer
3 electronics savings into perspective, we're looking at
4 once stock turns over the same amount of electricity
5 that's used each year by all of the City of San Jose,
6 San Francisco and Oakland put together. So that's just
7 on the consumer electronics high end of the savings.

8 So I'd like to turn it over to Pierre who's
9 going to talk about computer and servers and I'll speak
10 later about set top boxes and game consoles. Thank you.

11 MR. DELFORGE: Thank you, Noah. If you could
12 put the first presentation up please.

13 MR. STRAIT: Computers and servers?

14 MR. DELFORGE: No, the electronics one.

15 MR. STRAIT: I'm sorry. Hold on.

16 MR. DELFORGE: Thank you. So this is a very
17 brief summary, as Noah mentioned, we have four
18 recommendations for--or the top four recommendations in
19 terms of electronic products. The first three are 1-
20 2,500 gigawatt hours of savings. So very significant.
21 It's a little bit less to the lower number of devices
22 but very significant still. We're talking about half a
23 billion dollars of savings from voided electricity costs
24 for Californians and up to two power plants as Noah
25 mentioned as well. Next slide, please.

1 So again, this just puts them in simpler
2 manner but the same numbers as the previous slide. Next
3 one, please.

4 So, I'm going to start with computers and
5 servers and Noah will take set tops and game consoles.
6 Next slide.

7 So in terms of the scope that we're talking
8 about here it's desktop, notebooks, net books, work
9 station. This does not include tablets. This is in
10 line with the Energy Star specification. The graph on
11 the left shows sales of these products. And there's a
12 lot of talk about the pace of PC debt and tablets
13 replacing PCs. The reality, and if you look at industry
14 projections, it's still very significant growth. Growth
15 may have slowed a little bit due to the advent of
16 tablets but there's still very significant growth in the
17 market. Desktops are decreasing a little bit but still
18 around three million and projected to remain reasonably
19 close to three million over the next decade, that's
20 sales in California. Notebooks, on the contrary, are
21 still growing very strongly. About 80 percent projected
22 over the next decade. On the right, if you look at the
23 projected energy use of these personal computers, this
24 is around ten terawatt hours and it's projected to
25 remain approximately stable. The growth of notebooks

1 offsetting a slight decrease in desktop and this
2 includes some naturally occurring improvements without
3 policy intervention so this is our baseline scenario.

4 So this corresponds to your approximate three
5 and a half power plants and over a billion dollars worth
6 of electricity costs for users. So how much of this can
7 we save? Next slide, please.

8 I'd like to put the desktop and notebooks in
9 perspective and compare them with tablets for a moment.
10 The reason for this is because these computers already
11 have different form factors and different utilities.
12 They provide to the same extent the same functions,
13 email, internet, word processing. And if you look at
14 this chart, it shows the annual energy use of typical
15 devices and in the other extreme, the desktop for
16 example, is an Energy Star Category B desktop, it's not
17 a high end energy-high end computer.

18 The magnitude of the differences between the
19 devices shows that it's not in proportion with the
20 difference in performance. It's much more. It shows
21 that beyond the difference in performance, there's also
22 a difference in terms of the efficiency of the
23 components that are used in these platforms and in terms
24 of the design of the architecture of these platforms.
25 And, I think, the intent is not to say that desktop and

1 notebooks should use the same as the tablet but it's
2 just to show the scale of the savings potential and from
3 the cost effective manner, that we have between these
4 tablets and that we should not just be aiming to save
5 between 5-10 percent on desktop and notebooks but that
6 we can aim much higher in the 50 percent range from a
7 cost perspective manner. Next slide, please.

8 So next I'd like to show the main energy users
9 in the energy platform. Power supplies remain one of
10 the key energy users, especially when they're not what
11 we call 80-plus which is a standard for efficient power
12 supplies. But you also have a number of other
13 components such as displays especially when they're
14 integrated into notebooks and all in ones with graphics.
15 I think the point, and there's many opportunities to
16 save energy in each of these components and also from
17 the system level by throttling the components or system
18 down depending on application and user need but I think
19 the main take away from this slide is not that—it's that
20 beyond power supplies if we want to capture the
21 opportunity for savings, we can't just rely on power
22 supply efficiency. I think we have to go to other—to
23 system level requirements in order to be able to capture
24 the full cost effective opportunity in these systems.
25 Next slide, please.

1 So what this slide proposed is four main
2 elements. The first one is a prescriptive requirements
3 on power supplies because it is the highest energy user
4 in the PC and also because we have a well established
5 benchmark metric and data set to do so. But to go
6 beyond power supply, we also propose to set our limits
7 in mode so that's a system level metric which will
8 capture the other efficiency opportunities similar to
9 what Energy Star does in the key modes not including
10 active. We're not proposing to cap active mode but
11 mostly idle, sleep, off and network standby.

12 We're also proposing to have a power
13 management requirement to make sure that it's not just
14 about capability but it's also about how operational
15 savings in terms of how these platforms are used in the
16 field. And a consumer labeling requirement to enable
17 customers to make the right choice and be informed about
18 energy using costs. Next slide, please.

19 So my last slide, I just want to illustrate
20 how a power cap, a power requirement would work. So
21 this is an illustrative graph that shows the
22 distribution of platforms in the Energy Star five data
23 set for one category. So on the left you have the most
24 efficient system that uses less energy on an annual
25 basis and on the ones on the blue area are qualified

1 Energy Star well below, roughly, 175 kilowatt hours a
2 year. What we propose is to do something similar on the
3 high end side of the system which uses the most energy
4 to set a limit and require the systems to implement
5 measures that will allow them to meet that limit. And,
6 I just want to mention that this has a mechanism called
7 capability adjustment or allowances that allows systems
8 that do have higher capability from a performance
9 perspective to have allowances a little bit more than
10 the limit. It's flexible, it's performance neutral,
11 it's effective item neutral and provides industry with
12 the flexibility to find the most cost effective ways to
13 meet the standard at the same time to capture the system
14 level opportunities in the standard.

15 So that's it for computers. I'd like to
16 switch to computer servers which are no longer the
17 desktops or notebooks but they're the computers that sit
18 in servers rooms at enterprise data centers all the way
19 to separate closets in small and medium businesses.

20 The estimated energy use of servers in
21 California in 2010 was around 6-7 terawatt hours a year
22 so about 2/3s of that were PCs but they're growing much
23 faster due to the data and computing explosion that we
24 see now in everyday life. They're projected to reach
25 about two folds of that by 2020 without policy

1 intervention. Next slide, please.

2 One of the biggest opportunities to save
3 energy on servers is what we call power proportionality
4 which basically means how much power a server uses when
5 it's idle or when it's running at a very low load or at
6 maximum power. This graph shows a number of server
7 profiles depending on the load of the server. So on the
8 horizontal axis you have the load from the 100 percent
9 and on the left you have the amount of power uses
10 compared to maximum power so it's normalized 2:1. The
11 red line, for example, is a server which uses up to 65
12 percent of its maximum power when it's in idle or doing
13 very little work where the best in the market are around
14 20 percent of maximum power which—and this is important
15 because most servers in data centers actually use—run
16 between 0 and 30 percent loads. They are selected by
17 customers based on their maximum capacity so that they
18 can run the applications that they are designed to run
19 or intended to run over their life they spend most of
20 their time and energy at very low loads and if they are
21 not power proportional they end up spending a lot of
22 time doing not very much work and energy not doing very
23 much work. Next slide, please.

24 So this slide just shows the power
25 proportionality is not well correlated, is not

1 correlated at all actually, with the powers with
2 performance of the servers. If you need a very high end
3 server, you can find a server with high end
4 proportionality as you can find servers with low end
5 proportionality and the same with the very low end. And
6 it shows how we could set the standard limit with .4 to
7 eliminate the servers to have the lowest power
8 proportionality or at least to force them to be power
9 proportional. It's a little bit more complex. It has
10 to be done within categories in terms of workloads, in
11 terms of liabilities. There's some work to do to find
12 the categories but the benchmarks, at least in most
13 categories of servers, exists with respect to power in
14 others.

15 We have data available so it's—there's a lot
16 of limits that we need to set the standards up there but
17 we just need to work with industry to find the best way
18 to implement this. There's some other possibilities
19 like actual efficiency, transactions per watt so this is
20 just one example of how this could be set to achieve the
21 energy savings. Next slide, please.

22 So I'm going to skip on this one because
23 there's basically similar opportunities as we have on
24 computers in terms of power supply, memory, disk,
25 motherboards, etc. Next slide, please.

1 So the key elements in the standards that we
2 propose are a prescriptive requirement on power supplies
3 to eliminate the least efficient ones in the market.
4 And then a number of options that will have to be
5 discussed with industry which either direct a
6 requirement on power proportionality or leverage the
7 Energy Star spec for Version 1 which is currently
8 enforced or event collaborate with EPA on the current
9 spec in terms of the current development of Version 2
10 which uses a performance benchmark.

11 Next slide, please.

12 So just as a summary, I wanted to show the
13 different savings from looking at different metrics.
14 Are we talking about hundreds of millions of dollars of
15 cost savings for each of these opportunities. On a unit
16 basis are we talking about several hundred dollars on
17 the lifetime of the equipment for the impacted devices
18 and I think we've covered the others in the overview so
19 I'm going to stop there in the interest of time. Thank
20 you.

21 MR. RIDER: Thank you very much. Thank you.
22 To keep you on the computers and servers subject, I'm
23 going to move onto Henry Wong and then we can circle
24 back to Noah's presentation. So Henry if you're ready,
25 go ahead and introduce yourself and give your

1 presentation. Thank you.

2 MR. WONG: So the presentation is listed with—

3 MR. STRAIT: One second. We're going to try
4 to re-enable the WebEx really quickly here. This will
5 just take a couple of minutes.

6 MR. WONG: Okay.

7 MR. STRAIT: And which presentation was it?

8 MR. WONG: This was the ITI.

9 MR. STRAIT: ITI? All right.

10 MR. WONG: Of the CEC Workshop.

11 MR. STRAIT: I can give you this—let me just
12 start this and I can give you this so you can advance
13 the slides.

14 MR. WONG: Excellent. Okay. Thank you. My
15 name is Henry Wong. I've been in the computer industry
16 developing new technologies for close to 26 years so
17 far, mostly with Intel. And what I'm going to be
18 presenting today is an overview based off of our
19 understanding of the market. What I'm representing is
20 not only Intel but also the IT industry as well as some
21 of the companies within organizations such as the Green
22 Grid which comprises not only of industry manufacturers
23 and service providers but also end users and research
24 facilities, all of whom are helping us understand the
25 market a little bit better so that we can achieve higher

1 gains of efficiency.

2 So I'm going to go ahead and cover some of the
3 basis of computers and servers and just to remind folks
4 that computers and servers are the very technology that
5 we are relying on to achieve higher levels of efficiency
6 throughout our economy. When I say efficiency, we're
7 also talking about productivity over the energy
8 consumed. We don't go ahead and provide sufficient
9 resources for this key attribute on the computer
10 industry it'd be very, very difficult for us to achieve
11 in the economy higher gains in efficiency both
12 economically as well as from an operational standpoint
13 within the industry.

14 Again, as another reminder of how fast the
15 pace technology is in our everyday lives, we're looking
16 at items that—or activities we would normally do with
17 more carbon intensive activities—going to the bank,
18 doing transactions, living out your daily lives and all
19 of those activities have become much more efficiency
20 given the IT technologies that have been progressing.
21 In fact, there's a lot of discussion early on probably
22 2-3 years ago or even further before that, that marveled
23 at the computer industry and asked why can't other
24 industries gain the levels of efficiency in their
25 particular industries the same way that computers have.

1 One of the things that I want to make sure
2 that we leave with today is that the notion that the
3 keys to energy efficiency is indeed higher productivity.
4 We have to support the activities of the people of the
5 State of California as well as the nation, we have to go
6 ahead and find a better way of running our economy and
7 our lives with the least amount of energy consumption.
8 So higher productivity, lower energy consumption. And
9 I'll cite some of the historic examples. We're really
10 looking for the computer industry to achieve the same
11 kind of efficiency that we've been able to achieve in
12 the past. A 10:1 improvement on economic achievements
13 versus energy consumption along with continued path
14 along those guidelines.

15 But it's not without some challenges. So what
16 we face in the industry today is this growth in terms of
17 technology dependence. We're getting more users, we're
18 getting more productivity, there are more computing
19 devices and there's actually a lot more data to handle;
20 not only from an entertainment or social responsibility
21 standpoint but also to meet required regulations in
22 terms of accountability of the data that's their
23 personal data, financial data and safety information
24 that is required by us all.

25 What we've been able to go ahead and do,

1 especially with PCs, is look out into the future in
2 terms of where we're headed. We know that resources
3 like energy are not going to be limitless. As a result,
4 one of the things that we focused on, especially in the
5 PC industry is to make sure that we can grow the
6 productivity while maintaining a fixed level in terms of
7 the energy growth and energy demands. Trying to provide
8 exactly that idea of efficiency, of greater productivity
9 for everyone with the least amount of energy consumed.

10 What we see for between 2007-2014 is indeed a
11 growth in terms of the number of devices but the number
12 of devices and the energy consumption of the second
13 billion PCs pale in comparison to the compute
14 capability, the productivity of those devices.

15 We expect to get a 10x improvement in terms of
16 the computer capacity, consolidating activities in the
17 economy while not overburdening the energy consumption
18 required. Basically using half the energy the first
19 billion used.

20 In the computer and server industry, what
21 we're seeing is the voluntary programs and market demand
22 is already driving energy efficiency and one of the
23 things that we'd like the Commission to really pay
24 attention to is the business as usual case and, in this
25 instance, especially for computers and servers, the

1 rapid improvement in energy efficiency without having to
2 go ahead and come up with regulations. We think that
3 programs, voluntary and incentive programs, are the keys
4 to doing that transformation in the industry. And it
5 will actually be consistent with some of the
6 developments the industry already has been undergoing.
7 This is a chart, and I won't read through it, regarding
8 energy efficiency in computers in general as well as
9 specific instances of what we're trying to do in
10 personal computers in addition to what we're trying to
11 do in servers and data centers. These are some of the
12 programs and practices that are already underway within
13 the industry with some of the organizations that I had
14 previously mentioned. It's not just manufacturers.
15 These are users and researchers that are all focused on
16 these activities.

17 MR. RIDER: Henry, you had two minutes or so.

18 MR. WONG: Let me go ahead and try to rush
19 through this then. This slide just describes some of
20 the base improvements that are going on in the computer
21 industry over the past 30 years and we continue to do
22 so.

23 This foil set is an example for the progress
24 that we've made on PCs, understanding not only our
25 market but also the end user. One of the key items here

1 is that we really want the keys to transitioning to
2 energy efficiency on PCs is adopting power management
3 and refreshing the equipment. We've found, even when
4 working with the Australian MEPS program as well as with
5 the European programs on energy efficiency, the key
6 answer that no one ever wants to listen to apparently is
7 that the way to transition to higher efficient set of
8 equipment is to just simply refresh it, and follow along
9 the path that the industry has already provided.

10 Same thing goes even on servers. And we're
11 finding that in the State of California too. Recently
12 there was a publication on an activity that one of our
13 industry colleagues, HP, did with the California
14 Department of Water Resources where they've been able to
15 realize what I'm showing here which is that the newer
16 systems and components along with consolidation
17 activities and virtualization activities are able to go
18 ahead and achieve significant gains in energy efficiency
19 in the data center. And it's really the data center,
20 not necessarily the individual servers, that are the
21 most important because that establishes the footprint.

22 And in the case of the California Department
23 of Water Resources, California was able to realize a
24 reduction of servers from 600 to 160 servers. And they
25 were able to consolidate their footprint on their data

1 centers, now this was not done via regulations. This
2 was done through these organizations that we've worked
3 with, the Green Grid, the member companies such as HP
4 and so forth, along with the baseline technologies that
5 I'm showing here today regarding servers.

6 And this is basically the realization that
7 California was able to see. It's not just a simple
8 marketing foil, per se, but this was reality.

9 MR. RIDER: Henry, if you could wrap it up
10 here. Thank you.

11 MR. WONG: The last item that I'd like to make
12 sure about is that if we're going to create a program,
13 and I don't like the use of regulations, but if we're
14 going to create a program one of the things that we have
15 to concern ourselves with is unintended consequences.
16 With all of these advances and with what we've already
17 achieved, I don't want—or we don't want from an industry
18 standpoint—a program that will either stall the current
19 efficiency activities or prevent it from happening.
20 That's going to hurt both the public as well as the
21 industry. And that's what we see that may occur if
22 regulations are deployed. One of the key items on the
23 computers that I have an example of, and I won't go
24 through, is the increase of annoyance modes. Folks
25 really don't understand this concept of if you make

1 sleep or inactivity annoying, it doesn't wake up in
2 time, you're bound to go ahead and force consumers which
3 is really where the energy savings will come about, to
4 increase their energy consumption by going into the non-
5 annoyance modes and actually prevent the industry from
6 migrating consumers to a more efficient system.

7 Now it may be a little difficult for me to
8 describe without going through that foil but I do
9 recommend that you do go through that foil following
10 this. Understand this issue of annoyance modes. We're
11 really looking at what does it take to transition the
12 consumer base to something more efficient.

13 Same thing goes for servers and we've worked
14 with, like I said, end users including California the
15 DOE, the US DOE in Washington, looking at their own data
16 centers and doing audits to make sure that we drive
17 energy efficiency throughout the data center and to
18 reduce or hold flat the energy footprint in that data
19 center while maintaining productivity.

20 And it's the crying baby syndrome. That's the
21 annoyance mode.

22 So it's not piece part, it's the system. So
23 even though we may want to go ahead and put constraints
24 on individual pieces of the computer system, it's the
25 system itself and its interaction within all the

1 different pieces that will achieve energy efficiency.
2 The unintended consequences is if we constrain one
3 particular piece, we may end up having a family
4 responding to that crying baby.

5 MR. RIDER: Henry, we're going to have to move
6 on to the other presentations.

7 MR. WONG: Okay. That's fine. I'll go to the
8 conclusions and recommendations. There's voluntary
9 measures to provide incentives and help us transition
10 the markets. We also recommend that if we're developing
11 a program, a comprehensive assessment of the market with
12 verifiable data be used as a basis for developing any
13 regulation once so ever. That's it. Thank you.

14 MR. RIDER: Thank you, Henry. We'll review
15 the full presentation. We're going to kind of switch
16 gears into the set top boxes. Noah, are you ready to
17 present on that? Okay.

18 MR. DELFORGE: If you just switch back to the
19 previous deck, the electronics—

20 MR. STRAIT: Would you like the use of the
21 remote? So again, number three?

22 MR. DELFORGE: Yes, number three.

23 MR. HOROWITZ: So to follow up where we left
24 off. Again, Noah Horowitz with the NRDC, the Natural
25 Resources Defense Council. We've done a lot of work

1 with help from our consultant, ECOS Consultant, trying
2 to understand the energy usage of set top boxes and its
3 various modes.

4 We'll quickly go over what we found from our
5 most recent study and give some potential
6 recommendations for the CEC to consider if it's going to
7 move forward with standards for these products which we
8 hope they do.

9 So you need to go all the way to the--okay.
10 There we go.

11 MR. STRAIT: My apologies.

12 MR. HOROWITZ: No problem. So there's roughly
13 11 million customers or households if you will that
14 subscribe to some form of paid TV in California and the
15 majority of them subscribe to cable, the rest satellite
16 and increasingly, it's a small number-it may potentially
17 grow, some people are getting their service from the
18 phone company. And each system has its own
19 implementation.

20 Going to the next slide. On the Y axis is how
21 much power the device is using. On the X axis on each
22 of those bars is an individual model that we tested.
23 You know the Motorola box 123, the Cisco box, the
24 satellite box and so forth.

25 If you go from the left side to the right, on

1 the left is a basic box, a standard definition box, as
2 you move to the right, the next cluster are high
3 definition boxes and they consume a little bit more
4 power. Then you go to—on the right hand side, the DVRs
5 which are increasingly popular and, as a result, the
6 whole category is having increasing energy use.

7 The circles are how much power the device is
8 using while it's on—when the user is watching TV,
9 recoding a show, playing back a show. And that's
10 interesting, I think, the big opportunity here is the
11 bar underneath is how much power the device is using if
12 it has an on/off button and you turned it off. There's
13 little to no difference in the power draw, whether
14 you're using the device or not. Next slide. Thank you.
15 You're right on schedule.

16 So here's an example, this is not meant to
17 pick on the Motorola box; this is pretty representative
18 of the industry. You can see over time there's a very
19 little difference of the power consumption of these
20 devices. It might go up a watt when you're watching a
21 show and when you've turned it off; the power goes down
22 a half a watt or a watt. What happened, it dimmed the
23 clock and nothing else.

24 So here's the big opportunity. How do we
25 reduce the amount of power these devices are using when

1 the user is indeed not watching TV or recording a show?
2 Next slide, please.

3 So we did some modeling on the national basis
4 and the savings would be proportional for California but
5 in general graphically two-thirds of the energy being
6 consumed by these devices per year is when they're not
7 being used. It's about nine power plants worth of
8 energy or electricity being consumed in the U.S., it's
9 about \$3 billion a year that consumers are paying to run
10 these devices, \$2 billion of that when they're not
11 watching or recording a show. And that's the big
12 opportunity for both the environment and people's pocket
13 books. Next slide, please.

14 So this is getting into a summary of some of
15 the points I've mentioned already. I think it's
16 important to note that some of the DVRs, in terms of KWH
17 per year, the annual electricity use is greater than the
18 big screen TV that they're connected to. So we've done
19 a great job with the industry's help and the state
20 regulations in driving down the energy use of big screen
21 TVs. Now we need to work on the things connected to
22 those big screen TVs. Another way to think about it is
23 that not all homes but many homes have a DVR for their
24 main TV and a basic box on the second TV. You add that
25 up, it's equal to a new Energy Star's worth of

1 electricity a year.

2 Next slide is information presented
3 graphically. We'll leave it for the record but we don't
4 need to go over it now for the spirit of time.

5 Earlier I showed you data in terms of watts,
6 the draw of on and standby mode. If you convert this to
7 kilowatt hours per year, you'll see that there is some
8 difference between the cable and satellite products.
9 You'll see that some products are more efficient than
10 others. And, in addition, of the DVRs, we're looking at
11 2-300 plus kilowatt hours per year. So these are not
12 benign products in terms of their electricity use.

13 Moving to what could California do? We don't
14 have all the answers for you today but we do have a
15 couple of potential proposals to start the conversation.
16 We think, in particular, that the low hanging fruit is
17 making sure that these devices go into a low power mode
18 while still providing a good experience for the
19 consumer. To Henry's point, we don't want these to go
20 to sleep and frustrate the consumer. We think that
21 there are ways to go into a low power mode and still be
22 able to wake up and record Desperate Housewives or
23 Monday Night Football and then go back to sleep.

24 So a couple of opportunities to consider.
25 Energy Star has two levels, the first one called Energy

1 Star 3.0 that provides an annual budget for these
2 products in terms of TEC, total energy consumption, that
3 might be one way to go. Another one that's very simple
4 and easy to administer is what if we said that all new
5 boxes shouldn't be capable of drawing more than five
6 watts when they're turned off or asleep. That should
7 provide sufficient head room for the system to talk to
8 the box, to wake it up, to make it do things. Many
9 products are down to less than 1 watt in terms of
10 standby. We understand and expect that we'll probably
11 hear that there are some unique needs from the cable and
12 satellite industry and we're willing to work with them
13 on this.

14 We also want these boxes to automatically
15 power down. If the consumer doesn't turn it off with a
16 remote, if they don't touch the remote for 4-5 hours,
17 they're probably not watching TV and there's a way to
18 power it down as well.

19 A good analogy is everybody's smart phone.
20 Same thing, it's a subscription basis. There's security
21 needs. You always want to be able to receive a phone
22 call. You could even watch TV on your smart phone.
23 Those things use tenths of watts or hundreds of watts
24 when they're not being used. Let's get some of that
25 smart technology into the set top boxes.

1 So, last slide, if we went from an average of
2 35 watts to 5 watts just for the DVR when they're asleep
3 and we see similar savings for the basic box, here's
4 what it all adds up to and it's hundreds of millions of
5 dollars; roughly half a power plant. A lot of tons of
6 CO2. We think that this is very ripe for potential
7 savings and we think that the state should consider
8 moving forward on standards. Thank you.

9 MR. RIDER: You still have about three
10 minutes. Do you want to see if you can get through the
11 game consoles as well? I mean, since the presentation is
12 queued up. I don't want to go back and forth a bunch of
13 times because we're short on time. Is three minutes
14 enough time for you to get through that?

15 MR. HOROWITZ: I hope so.

16 MR. RIDER: Well--

17 MR. HOROWITZ: Four at the most. Now I'll
18 shift to video game consoles. Again, another device
19 that's connected to the TV. So we're seeing growing
20 numbers of video game consoles and by that we're talking
21 mainly about devices like the PlayStation III from Sony,
22 the Xbox 360 from Microsoft and Nintendo's Wii and its
23 successor product the WiiU. We're not talking about
24 handheld PSPs and other players like that. Next slide,
25 please.

1 So we've taken some measurements. The
2 industry has done a good job at reducing the amount of
3 power these items use when they're in use. It's the
4 other modes where there's significant saving
5 opportunities. We did a study that we'll share with the
6 CEC and available online. The "Ah-ha!" moment for us is
7 if the user is done playing a game and the game is
8 loaded, that box will continue to draw roughly 90 watts
9 24/7. And there is an auto power down feature in these
10 boxes the manufactures ship it disabled. You could
11 probably count on your hand how many consumers know
12 about that feature, go in and turn it on. So many of us
13 and our families, you turn off the TV; you forget or
14 don't think about turning down the game console. You
15 want to make sure that these items do go into a low
16 power mode.

17 The good story here is that the industry has
18 done a good job. If you do indeed turn it off or your
19 child or roommate does, it's drawing less than a watt.
20 That's where it should be. How do we make sure that we
21 go from these 90 ish watts down to 1 watt?

22 In addition, if you pause something or if it's
23 just staying at the main menu, it's drawing 70-90 watts
24 again. So you're not playing a game but you're near
25 full power. So just like Pierre spoke about for

1 servers, we need power scaling as the device should only
2 work as hard as the task at hand. Next slide, please

3 Another big opportunity and concern for us is
4 increasingly some consumers are using their game
5 consoles to watch a movie. That's potentially a great
6 thing and very convenient for the consumer. The concern
7 though is that we took a Spiderman 3 BluRay disk, played
8 it on a PlayStation three and it drew about 70 ish
9 watts. If you took that same movie and played it on a
10 standalone Sony BluRay player, it's drawing about 10
11 watts. So why is it taking seven times more power to
12 display the exact same movie.

13 On the Wii you can play a movie on streaming
14 and it's about 12-14 watts. We want to see the movie
15 play power reduced and we think that there's multiple
16 ways to get there.

17 So the Wii consumes a lot less power to play
18 games than the other devices. But on the annual energy
19 use, there's one thing that could cause the annual
20 energy use to go up dramatically and that's a term
21 called network standby. So if you enable a certain
22 feature on their box instead of using one watt when you
23 turn it off, it continues to draw 10 watts of power
24 continually. We think that there are a lot of
25 opportunity to bring down that network standby power.

1 Next slide, please.

2 So the opportunities as we see them is that we
3 want to see these consoles go into a low power mode when
4 they're not in use and there's multiple ways to drive
5 down the power usage of these devices and make them more
6 efficient. For example in movie play, power scaling is
7 the way to go and also since if you turn off your TV
8 over time, we would like to see the game console power
9 off as well automatically and vice versa.

10 So a potential standard for our current
11 thinking is that we'd like to see—these devices already
12 have auto power down capability. We want to see that
13 chip enabled by default. We shouldn't have to rely on
14 the consumers to find this feature. We think that there
15 should be testing or reporting of the various energy use
16 in the various modes. Consumers have no way of knowing
17 the power use and the cost of operating these devices.
18 We think there should be power caps or limits for media
19 playback, the navigation mode and the network playback
20 modes. To be very clear, and we're very sensitive, we
21 too do not want to stifle innovation or consumer
22 experience. We're not proposing a cap on gaming so when
23 you're playing the device, you can use as much power as
24 you like. Hopefully the industry will continue to drive
25 that down but when it's not in use or playing a movie,

1 we figure there are dramatic savings opportunities.

2 So the next slide is just a summary of what
3 the savings would be and I'll leave that up there in the
4 spirit of time.

5 MR. RIDER: Thank you very much, Noah. You're
6 right on time within a few minutes. We'd like to move
7 on to DirecTV, Mr. Stephen Dulac.

8 MR. DULAC: Du-Lac.

9 MR. STRAIT: One second while we do. We're
10 going to try and re-enable the WebEx portion of the
11 presentation and try to rebroadcast.

12 MR. DULAC: I guess I'll just say a few things
13 while we're waiting for the slides to come up. I'd like
14 to talk a little about DirecTV. DirecTV has very close
15 ties to California. We are a California-based company,
16 founded in 1990, based down in El Segundo. We are
17 currently the largest paid TV operator in the world. We
18 have 30 million customers in the US and in Latin
19 America. We are also the 14th largest employer in
20 California I was told currently, and still growing. I
21 think one of the reasons we're still growing is that
22 we're an innovative, California-based company that we
23 really do like our customers. People are proud to say
24 that they have DirecTV. I can't say what Henry was
25 saying about the fact that his industry increases

1 productivity. I think that as paid TV providers, along
2 with the game console providers, are maybe doing more to
3 decrease productivity in the world than increase it.
4 But still, our couch potatoes love us. We want to make
5 sure that we delight them all the time.

6 MR. STRAIT: All right. We're going to go
7 ahead with this presentation and, hopefully, we'll get
8 the WebEx portion established after this panel has
9 concluded. The slide is up.

10 MR. DULAC: Yes, you can jump right past that
11 and I also talked about California. So, right now
12 DirecTV is very big on Energy Star. We think that our
13 customers recognize that label and we have been
14 producing Energy Star boxes since the Energy Star set
15 top box program restarted only in 2009. It's a brand
16 new program, really. We're able to serve both as a
17 provide partner and a manufacturer partner because we
18 actually make our own boxes. We've actually received
19 awards from Energy Star both last year and this year for
20 excellence on our energy efficient product designs,
21 something that we're very proud of. That picture there
22 is from a *TIME Magazine* ad that we put out.

23 By the end of this we will have put out 30
24 million Energy Star qualified receivers to our
25 customers. So they all have the little Energy Star logo

1 on there. And we're very proud of that, we think it's
2 an excellent program. Next slide, please.

3 The trend in network TV in terms of our set
4 top box power use is shown in this chart. There are
5 three different categories shown, just like Noah had
6 shown before. There's an SD, HD for high def and then
7 our newer high def DVR products. So when we first
8 launched our current generation of SD box in 2004—

9 MR. STRAIT: One second, I apologize for that.
10 Please continue.

11 MR. DULAC: Okay. It had an energy
12 consumption of about 150 kilowatt hours per year. It's
13 dropped to a fraction of that with the products that
14 we're producing now in 2011. The same is true for our
15 high def box. We really revolutionized high def in the
16 middle part of the last decade when we announced we
17 would have 100 channels of high def and it took a whole
18 new technology introduction with something called MPEG-
19 4. When we did that, those first boxes that came out
20 used a lot of energy. That same capability, in fact a
21 more capable HD box today is, again, only using a
22 fraction of that energy and it continues to drop. The
23 same is also true for our high def DVRs. Introducing a
24 box that is capable of both high def and a DVR which, by
25 the way, our customers are crazy for; they love these

1 things. Once they get them, they—you know, well, my
2 wife is a good example of this. She would get rid of me
3 before she got rid of her high def DVR, I think. So
4 this is something that we absolutely do because it
5 delights our customers so we want to make sure that we
6 have more high def DVRs available to our customers and
7 in more rooms. I'll get to that later.

8 Also in this chart you see where the Energy
9 Star process has gone. Version 2 which is when the
10 program re-launched in 2009 shown there and our boxes
11 from '04, '05, '06 they were nowhere meeting those
12 limits. When Version 3 which kicks in tomorrow, by the
13 way, starts we will just barely be inside those limits
14 and, I'm happy to say, we'll still be able to
15 participate in the Energy Star program.

16 Version 4 has also been put out as a draft for
17 2013 and you see the limits on this chart as well. Our
18 current, really state of the art product line is not
19 version 4 compliant.

20 One—just one last thought on this chart which
21 is that we do have all of this data available. It's
22 actually available on the Energy Star website in terms
23 of the trends of the boxes over time. One of the bits
24 of information from the studies, I would like to see the
25 study that the NRDC did to show those same products on a

1 timeline. I think you'll see the same trend across all
2 manufacturers not just DirecTV, everybody. The boxes
3 that were designed back in the middle part of the last
4 decade are much less energy efficient than the newer
5 ones.

6 I also want to talk about multi-room
7 architecture so next slide, please. And this was
8 something that we were actually able to demonstrate here
9 last night. I hope that some people got a chance to go
10 over to the Senate Office Building and see this. This
11 is the next great thing that we're doing in terms of
12 energy efficiency and delighting our customers, to be
13 honest with you. We're doing it for very selfish
14 reasons because we want to make our customers happy.

15 So we're coming out with a new smart box
16 technology. And what this box does, and you can see a
17 picture of it there with a Samsung TV, it uses this new
18 RVU technology. One box is able to actually provide
19 high def, DVR service to every TV in the house. That's
20 important because it makes our customers even more happy
21 with our service and we're using one box instead of
22 deploying four.

23 Today if someone wants high def and DVR, and
24 we're in their house, they actually need to deploy a mix
25 of high def DVRs and high def boxes that's much more

1 energy consuming than this technology. Again, referring
2 to the NRDC report, not the charts today, but the
3 majority of that report does talk about multi-room
4 architecture and the gains that are possible with that.
5 We're very excited about this and I was very happy to
6 see this in that report. We hope that that can be a
7 focus as the conversation continues. I'd love to do
8 everything we can to promote the uptake of this
9 technology in California and everywhere.

10 The way that this works is actually the
11 Samsung RVU capable TV that you see there is able to run
12 a software application that effectively acts as a
13 client. It's sort of like any sort of app you see on
14 connected TVs these days. And so with our box, it will
15 recognize the TV, be able to deliver the DirecTV video,
16 high def video, audio, all the DVR services and our look
17 and feel which, of course, is very important to us, to
18 that TV without having a set top box at that TV.

19 So, again, I think that's an area where we
20 really want to go with this. One quick comment about
21 standby and then I'll be done with my comments which is
22 that we see standby having merit in this multi-room
23 architecture because they TV could go on standby or if
24 we have to have a thin client box in the home because
25 the TV doesn't happen to be RVU capable that client can

1 go into standby and the customers experience is not
2 diminished at all. There's no annoyance factor like
3 Henry was talking about because it would just be the one
4 server that's collecting all of that necessary
5 information, all the recordings, everything to give that
6 customer the experience that we want to make sure that
7 they get. The instant on viewing experience that
8 everyone expects from their paid TV services.

9 So we're keen on multi-room, that's really the
10 direction we'd like to talk about. We're very happy to
11 continue this conversation. I'm based down in LA, I'm
12 happy to come up as much as anybody needs. And thank
13 you for your time.

14 MR. RIDER: Thank you very much, Stephen.
15 Next on the agenda is Gary from EchoStar.

16 MR. LANGILLE: Gary Langille.

17 MR. RIDER: Yeah, I didn't even risk it.
18 Thank you.

19 MR. LANGILLE: Where's the driver?

20 MR. STRAIT: Which presentation would you like
21 me to load?

22 MR. LANGILLE: It should stay EchoStar.

23 MR. STRAIT: This one?

24 MR. LANGILLE: Yeah.

25 MR. STRAIT: Okay.

1 MR. LANGILLE: Okay. First of all. Thank you
2 for asking us to come contribute. We're based out of
3 Colorado. I'm here both representing EchoStar
4 Corporation which used to be a single company that
5 included our national satellite TV service but has since
6 been split in two so I'm also here representing DISH
7 Network which is the large, TV service provider. Along
8 with DirecTV, we compete to bring the best service and
9 value to our customers.

10 I was extremely surprised by the impact of
11 jobs we have on California but we do actually impact
12 over 7,000 positions. We have close to 700-800
13 retailers and that most of their livelihood is dependent
14 on reselling our services. We recently purchased
15 Blockbuster which turns out has a lot of employees based
16 in California. So our total job impact in the state is
17 quite large.

18 I did want to also tell you a little bit about
19 myself. I am a co-chair of the CEA Standards Committee
20 on set top box test procedures. I also did a very large
21 contribution to the Canadian standard for set top box
22 measurement. And I actually wrote a lot of the IEC
23 standard for set top box measurement so I'd be more than
24 glad to contribute my knowledge and to help California
25 move forward in this process.

1 Next slide, please.

2 I thought I'd talk a little bit about what is
3 referred to by the FCC, who kind of regulates us, is
4 multi-video program distributor. That's generally what
5 people like DISH or DirectTV or Comcast or others are
6 called. And I want to talk a little bit about the
7 milestones or the issues that have happened in the last
8 7-8 years. One of the big issues, like Steve commented
9 and Noah commented, is digital video recorders.

10 You know, they came out in about 2005 and they
11 have been extremely rapidly growing and very much in
12 demand. They've gone from actually 1 percent to 35
13 percent of homes today. In the process, they have
14 replaced millions of VCRs and optical recording devices.
15 And I hope you have an appropriate place to get those
16 VCRs unplugged and out of people's houses because nobody
17 uses them anymore.

18 So that is one thing that has definitely
19 impacted household energy use. It's something that
20 customers want and we'll talk a little bit more about
21 that. The other major impact on this industry has been
22 the digital TV transition. I'm sure you all remember, I
23 think it was finally done in June of 2009, where the
24 whole broadcast industry shifted from an analog format
25 to a digital format.

1 Well that had a very big impact on service
2 providers and the whole industry. First of all, we were
3 required by law to support everyone's old TVs as well as
4 the new TVs. So basically everyone was faced with
5 doubling their capacity of the networks and the ability
6 to provide. So everyone had to expand their
7 infrastructure, not within the home but within the
8 ability to deliver content to the home.

9 Many of us have adopted advanced coding which
10 ended up increasing power consumption on set top boxes.
11 Many of us didn't have our systems built out across the
12 whole country so we had to provide the ability for the
13 people to put up a regular old antennae to receive our
14 broadcasts. Many of the set top boxes had to include
15 that feature.

16 The whole cable community, in order to expand
17 and handle the capacity, had to add digital tuners. We
18 were required to support the new HD TVs as well as the
19 old analog TVs, to be able to broadcast in both standard
20 definition and also to be able to broadcast in high
21 definition. So this, obviously, was a huge investment
22 by the industry to handle all of this. It had to be
23 done very quickly. The adoption of HD TV actually
24 happened a lot quicker than most people projected.

25 Despite the bad economy, somehow everyone

1 managed to go out and buy an HD TV. I can't explain it,
2 but it's happened. So what you see today is from about
3 2009 to today, this new services being offered.
4 Basically, everyone strived to complete their build out
5 so that they can deliver the hundreds of HD channels
6 across the country and all the local channels in HD.
7 You've seen cable systems convert over to digital. In
8 fact, I just read last night or saw on the news that
9 Sacramento is going through that transition right now
10 with Comcast.

11 New providers come in through the Telcos and
12 also there's a lot of new content available through
13 video On Demand, IPTV; there's many, many new channels
14 that are being offered.

15 So all of this does impact the industry. One
16 of the points on this slide is that we're very concerned
17 about the data that's being captured. I did go back and
18 look at the PG&E data that was captured in 2004; and you
19 can see, that's just before—it was a big change that
20 happened in the industry.

21 I also looked at the NRDC data and frankly
22 most of that was captured devices that was just in that
23 US digital transition whether it was excessive new
24 functionality that wasn't integrated yet. I'd like to
25 see us get better data, if at all possible. As much as

1 it looks recent, it's not really recent enough to really
2 make a solid assessment.

3 The other point is that a lot of the effort
4 that has to be done in this industry is regulated by the
5 FCC. We have to sort through things like emergency
6 alerts. Set top box has to be able to catch an
7 emergency alert and immediately make that available to
8 someone watching the TV. There's parental controls,
9 access issues like closed captioning. All of these
10 features have to be built into a set top box and as new
11 regulations from the FCC, we have no choice. By law we
12 must put these into the system and into the set top box
13 in many cases. Okay. Next slide, please.

14 So if I look at the trends from our
15 perspective, obviously things would tend to push
16 household energy usage upward. Obviously, DVRs.
17 They're now in 35 percent of households and the
18 projections is that they'll go to 52 percent of
19 households. One point about the DVR is that the way
20 that it's been implemented so far is that it's been
21 implemented as a piece of hardware, as part of a set top
22 box, which uses household energy. In a second—you
23 really want to think about it as a function, the ability
24 to record, fast forward, back up and do those kind of
25 things. How it's implemented is going to get changed

1 very quickly.

2 High definition TVs. Obviously, the figures
3 vary but a lot of what I've seen is about 67 percent
4 today, scheduled to go to about 71 percent. TVs per
5 household, we've finally done it. We finally have more
6 TVs more house than people. So we have 2.9 TVs in a
7 household and I think the US average is 2.5 people.
8 That's just the way it is.

9 What's worse is that there's 3 TV households
10 or 55 percent now. The 1 TV household is almost going
11 nonexistent. Those are things that as a provider, we're
12 just—customers want that. They want to—there's not a
13 lot that we can do about these trends unless we start
14 restricting how many TVs people can own and things like
15 that. So we have to respond to that.

16 So the trends pushing household energy use
17 downward. One is technology integration like when we
18 went through the digital transition and we had to
19 incorporate all sorts of new capabilities into these set
20 top boxes, it was sort of done piecemeal. I mean, there
21 were separate devices and integrated circuits for
22 functions. It wasn't very energy efficient. But
23 there's been huge improvements in that and we see a 20-
24 30 percent reduction per generation. So even boxes that
25 we put out today is something like 30 percent less

1 energy use than the exact same featured box that was put
2 out in 2007.

3 Home networks. It's a huge advance. It
4 allows us to do things like Steve was mentioning where
5 you have a single server. You can have a very low power
6 or no clients at TVs and allows us to really look at
7 reducing household use, especially the fact if TVs per
8 house keeps growing, it becomes even more important to
9 do that.

10 Digital-over-the-air-tuners not needed
11 anymore. We've been launched satellites and trying to
12 have enough capacity to offer local channels into every
13 market across the country. People don't need that
14 feature anymore. It's a very power consuming feature.
15 In some cases, that one feature added 100 kilowatts a
16 year to a set top box. So the boxes that you see today
17 usually do not have that capability. It's not needed by
18 the majority of customers today.

19 High speed internet access. The more that
20 that becomes available, the more that we can reduce the
21 household energy consumption. If people have high speed
22 internet access for example on DISH Network service and
23 they're willing to connect it up which is another whole
24 problem, then they can access movies and additional
25 content directly over that internet connection. It

1 allows us to have more flexibility on how we manage
2 power in the household.

3 One thing to keep in mind, that is a little
4 bit different for satellite providers like DirecTV and
5 DISH Network, is that it is a broadcast system. It's
6 one way. In other words you can't say that a cellphone
7 can do this because a cellphone when it comes up, it
8 calls back to the system and says, "Okay. I've been
9 dead, what did I miss? Send it to me." When you
10 broadcast one way and you have no return path, when you
11 want to send a message to all 30 million set top boxes
12 across the country, you basically send an Okay message,
13 number 1, 2, 3 and you could through all 30 million and
14 then you authorize it to do it again. That could take
15 two week for the box sitting there, waiting to get its
16 authorization signal or its update signal.

17 So it does affect things a bit for satellite
18 providers but it's something that has to be considered,
19 obviously, as part of any regulation.

20 MR. RIDER: Gary, could you wrap it up?

21 MR. LANGILLE: Okay.

22 MR. RIDER: Thank you.

23 MR. LANGILLE: Okay. Let me move on to the
24 final slide, just to summarize. The industry has a lot
25 of incentive to lower household energy consumption.

1 Basically the industry, one of the primary factors that
2 dictate our profitability is called subscriber
3 acquisition costs, or SAC. So for instance, the concept
4 that people are going to put a DVR in every room and
5 we're going to have to build tons of power plants, it's
6 just not going to happen. It's not affordable, we can
7 afford to put multiple DVRs in a room, customers don't
8 want to pay for multiple DVRs in a room so DISH Network,
9 just like DirecTV, is going to a client server situation
10 where you have one device in the house that basically
11 has all the control, communication, does all the storage
12 and allows the clients to power off and do a lot of
13 energy savings. And we think that by using that
14 technique we can keep the human energy consumption
15 certainly flat in the short term and probably start to
16 go down a little bit into the long term as we start to
17 get better integration.

18 Energy regulation of set top boxes is
19 challenging. There's so many different varieties, so
20 many different features, it's a very fast moving
21 business. The whole multi-room system we need to learn
22 more about it, how people use it, how often people use
23 secondary TVs versus primary TVs so we get good
24 estimates.

25 And the other big thing is that this industry

1 reuses a huge amount of product. Every month, we have
2 this thing called churn rate. Every month, between 1-2
3 percent of people decide that they're moving or they're
4 switching to someone else. So we have 10 million
5 customers, we have 100-200,000 pieces of household
6 equipment back. We reuse that because that keeps energy
7 use down and obviously it saves the environment by a
8 huge amount.

9 In some cases re-manufactured product consists
10 of 20-30 percent. Every re-manufactured product
11 actually keeps the energy use down because if you have
12 customer that just has a standard definition TV in a
13 third bedroom that they don't use very often, you don't
14 want to put a brand new HD capable box which actually
15 draws more power because it has a lot more capability,
16 we just use a standard definition box which is much less
17 power.

18 And the Energy Star program. We are a
19 qualified manufacturer. We feel that the program and
20 the testing are very complex. There are allowances for
21 different features but it is workable. And we think
22 that industry is adopting it. I actually talked to
23 Kathleen who runs the EPA Program because I asked her
24 about the new program that's supposed to start tomorrow,
25 "Can you tell me anything?"

1 Tomorrow when they do put the list up, it will
2 actually have already 14 new set top boxes that do meet
3 the Version 3 program from four different manufacturers
4 and that's even before the program has started.

5 We plan to follow that. Our customer in
6 Canada has 100 percent of their products are Energy Star
7 and DISH Network in the US is also looking at that as
8 far as joining the program for the newer products as
9 they roll them out.

10 MR. RIDER: I think we're going to have to
11 move on. I appreciate your presentation. Next on the
12 agenda is Doug Johnson from the CEA. Go ahead and give
13 your presentation, thank you.

14 MR. JOHNSON: Thank you, Commissioner Douglas
15 and Commission staff for the opportunity to present this
16 morning. CEA is a high tech trade association with
17 about 2,000 member companies that span the breadth of
18 the consumer electronics industry including not only
19 device manufacturers but also component suppliers,
20 retailers, distributors and service providers. Next
21 slide, please.

22 The product categories represented by CEA
23 really include all of the consumer channel products that
24 we're talking about in this first panel this morning.
25 Next slide, please.

1 Our industry's approach to energy efficiency
2 has been very comprehensive for many years, and research
3 and analysis has been a part of that. I'll talk about
4 that further in a moment.

5 Public policy, initiatives such as Energy Star
6 go back as far as 20 years now. Industry standards have
7 been important in the development of standardized test
8 procedures, we pursued consumer education initiatives
9 and we've also leveraged our industry's largest trade
10 event, the International CES Trade Show in Las Vegas as
11 a platform for promoting and recognizing energy
12 efficiency achievements in our industry. Next slide,
13 please.

14 A precursor to today's workshop was a recent
15 CEC staff draft report on buildings that was issued this
16 summer and we saw some statements and themes referenced
17 there that we've also heard in earlier presentations
18 today that raised some concerns for us. One of those is
19 the assumption is the ever increasing number of
20 electronic devices.

21 We would question that especially since
22 research shows that the number of consumer electronics
23 in the home has actually been flat in the past five
24 years. The perception is that we have an ever
25 increasing amount of electronics in the home but the

1 reality is that the average number has stayed flat for
2 the past several years.

3 We also see a statement in that report on
4 buildings concerning unregulated energy use constantly
5 climbing. If energy use of unregulated products is
6 climbing, we would also ask that we recognize the energy
7 savings offsets. As you've heard in a couple of
8 presentations this morning, the power consumption of
9 consumer electronics may actually be saving energy in
10 meaningful ways in other industry sectors. That really
11 should be accounted for so that we have a real holistic
12 understanding of how power consumption or of power
13 consumption in the economy, in particular the consumer
14 electronics sector.

15 Finally, we see the statement in here and
16 echoes of it this morning, that appliance efficiency
17 standards are critical for achieving energy savings. We
18 would question that as well given the accomplishments
19 and initiatives of industry and other stakeholders to
20 date in a number of different ways that relate to
21 consumer electronics.

22 Appliance efficiency standards have been a
23 tool in the Commission's word but I think it's being
24 looked at now as the only tool and it really needs to be
25 reconsidered as one of many potential tools and I'll

1 just speak about this further in a moment. Next slide,
2 please.

3 We also saw references in the draft report on
4 a couple of things that we strongly support such as the
5 idea of data driven policy and the importance of
6 gathering and synthesizing good, raw data. I think this
7 is fundamental to understanding where we are at today as
8 an industry in these product categories but also the
9 trends over time and also the energy saving
10 opportunities that are out there. Next slide, please.

11 Here we go. Lessons learned from the
12 rulemakings on electronics. So, we've witnessed several
13 rulemakings at the Energy Commission concerning
14 electronics. Only one of those has been focused on the
15 end user power consumption of a product, namely
16 televisions in the on mode. And there were a lot of
17 lessons that I think we learned and issues that came up
18 during that rulemaking that are really important to keep
19 in mind if the Commission is to pursue any new policies
20 or programs related to consumer electronics today.

21 Fundamentally, as I mentioned, we have to get
22 a handle on what is happening and that depends on good
23 data. It also is really important to understand trends.
24 The statement was made earlier that we have now
25 assumptions of savings but we need to refine these over

1 time but nonetheless figures were put out before you
2 this morning to suggest so many gigawatt hours of
3 savings can be achieved here but we would question that
4 based on similar statements that we saw at the frontend
5 of the proceeding on televisions. And as that
6 proceeding moved forward, we recognized that these
7 savings calculations and assumptions did not take into
8 account the impact of existing programs, particularly
9 Energy Star which has had a huge impact on the
10 transformation of the TV product category.

11 We also find an overreliance on the input from
12 stakeholders with vested interests. We know that the
13 utilities are genuine partners in the efforts to advance
14 energy efficiency but we also know that they have an
15 interest in advancing regulations as well. To the
16 extent that they're responding to a policy framework
17 which may predispose certain parties to pushing that,
18 perhaps that framework should be revisited. I think we
19 need flexibility as we look at the electronics industry.
20 This may be different than the Commission's experience
21 with our product categories namely in the appliance
22 industry in the past.

23 Finally, I think it's very important, as I've
24 said earlier, to account for the impact of Energy Star.
25 One of the big, I think, shortcomings on that proceeding

1 on televisions was the failure to account for the impact
2 of that program over time.

3 At the national level, not too much has been
4 said this morning about initiatives that are underway
5 that impact some of these product categories. And we
6 just don't have the time, I think, to get into a lot of
7 detail here. But Energy Star at the national level, at
8 the international level really, is more active than it
9 ever has been in terms of revising, refreshing its
10 specifications concerning electronics. There are
11 specifications underway right now for televisions, set
12 top boxes, computers, displays, imaging products, AV
13 products and so forth. These initiatives are important
14 I think as the program itself has been key to market
15 transformation for the sector so I think it's very much
16 important for the Commission to engage in that process
17 as an interested party and stakeholder.

18 We also have at the national level something
19 that CEA feels strongly about which are energy
20 disclosures for consumer electronics. This is a result
21 of the Federal Trade Commission's Energy Guide Labeling
22 Program which has been expanded through a new authority
23 given to them by Congress a few years ago to now address
24 several categories of electronics beginning with
25 televisions. And we now have in the marketplace

1 examples of the new Energy Guide Label for televisions
2 and on the list of products that the Federal Trade
3 Commission will be examining are set top boxes as well
4 as standalone DVRs and computer monitors, and
5 potentially other products as well. The Federal Trade
6 Commission has the authority to consider other
7 categories.

8 We think that the national level is certainly
9 the appropriate place to have an efficient and effective
10 labeling program built on the experience of the Energy
11 Guide process.

12 We also at the national level have rulemakings
13 underway at the U.S. Department of Energy concerning
14 battery chargers external power supplies, recently set
15 top boxes and also televisions particularly in an effort
16 to establish a national test procedure for TVs.

17 So we would encourage the California Energy
18 Commission, given its general interest in advancing
19 energy efficiency to be an active and collaborative
20 stakeholder at the national level through these
21 processes. We would not like to see a redundant set of
22 rulemakings here in California. I think that that's
23 especially a concern given the budget constraints and
24 the issues the state faces.

25 We've heard this morning but unfortunately

1 have not had the time to go into the time to go into the
2 number of industry and company initiatives that relate
3 to these product categories. I think that you could
4 easily have a workshop to examine each one of these
5 product categories and I gather from statements made
6 earlier this morning by the Commission staff that the
7 Commission is considering further workshops on various
8 topics so that we really can get into the details that
9 we don't have time to cover for the eight product
10 categories that are listed under consumer and office
11 electronics today.

12 I would also like to mention the contribution
13 of data the CEA 2011 Revisions of Energy Use Study.
14 This is due to be released later this month—I'm sorry,
15 we're at the end of August. It will be released in
16 September. This is a revision of our 2006-2007
17 essentially a census of energy across our industry and
18 we look forward to contributing the results of that
19 study with the Commission as it touches each one of
20 these categories on today's agenda.

21 Finally, we would urge the Commission to
22 recognize Energy Star and the EPA's own accounting of
23 its energy saving accomplishments from the
24 specifications that I mentioned earlier.

25 So to wrap up, we believe that it's really

1 important for the Commission to have the flexibility and
2 the tools in its toolbox to address consumer electronics
3 in ways that may be different or more creative than the
4 approaches its used in the past concerning appliances,
5 commercial and consumer appliances and equipment. We
6 also know that it's very important to have adequate test
7 procedures and certain stakeholders at the table have
8 made important contributions to the development of
9 standard industry test procedures so that we can measure
10 a product's energy consumption in these different
11 categories and then track that power use over time.

12 We cannot have enough good data analysis and
13 again we're happy to see mentioned in this earlier staff
14 draft report the importance of having that good data.
15 We do recognize the shortcomings during the TV
16 rulemaking, with respect to good data and analysis. We
17 certainly hope that as the Commission examines these
18 product categories that we can start off with a better
19 foundation.

20 Finally, there are always opportunities to
21 educate consumers. I think one of the most important
22 initiatives is the energy's disclosure requirements
23 going on at the federal level but there are also simple
24 ways to educate consumers through existing channels that
25 are managed by both government, utilities, industry has

1 done its part to get the word out but there's also
2 collaborative opportunities that we all have for
3 educating consumers on the use of consumer electronics
4 and ways to save energy. Thank you very much.

5 MR. RIDER: Thank you, Doug. We have next up
6 is Brian—do we have Brian, yeah with EPRI. If you could
7 go ahead and anything you can do, we're about 15 minutes
8 behind schedule; anything you can do to speed things up
9 would be appreciated.

10 MR. FORTENBERRY: Thank you. Good morning.
11 My name is Brian Fortenberry. I'm with the Electric
12 Power Research Institute. In addition to generation
13 research, transmission and distribution research, we
14 also engage in a lot of end use research. Today I'm
15 going to talk about power electronics and consumer
16 electronics and I'm going to talk about power factor
17 correction because we see an opportunity for some pretty
18 significant savings there.

19 So to begin with, I'm going to begin with an
20 example to clarify what it is that we're talking about,
21 and the mechanical guys are going to love this because
22 I'm going to use force vectors instead of a bunch of
23 sign waves. Most of the electrical guys will always put
24 sign waves up there. But if you just imagine a cart on
25 a track or on a road, the force that's labeled F_1 , if I

1 apply that in line with the wheels I can accomplish some
2 work because I can move the cart.

3 The other extreme is the force labeled F2
4 which is transverse to the wheels or the track and if I
5 apply that force, I cannot accomplish any work because I
6 cannot cause any movement. So I can extend a lot of
7 effort but I can't do any work. Work is defined as the
8 force that's in line with the track times the distance
9 it moves.

10 Now anywhere in between there, you see this
11 resultant force, FR. That has a component that's inline
12 and a component that's transverse so there are going to
13 be some losses in the effort extended because you're not
14 going to get the maximum amount of work done. So the
15 analogy there is similar to voltage and current. When
16 we apply a voltage to a device and the device draws a
17 current that is not in line with this voltage, then we
18 don't get the maximum efficiency in the delivery of the
19 power. Basically what happens is that we increase the
20 amount of current required and we create losses in the
21 wiring that supplies the power to the load. So it is
22 load dependent. It depends on what type of load you're
23 trying to supply power to. The perfect score when we
24 calculate this is unity. Anything less than that means
25 we've increased that angle between those two forces in

1 the prior example.

2 What usually causes this is a displacement
3 between current and voltage that's caused by inductive
4 loads like motors, very common. Another example is
5 harmonics that's caused by the nonlinearity of the
6 electronic loads. Computers are a perfect examples and
7 I'll come back to the computers in a moment.

8 Basically though the losses in the building
9 power system, whether it be residential or commercial,
10 are proportional to the resistance in the wire and the
11 square of the current. So if I have an increase in
12 current, I have an increase in losses.

13 So every electronic device has a power supply
14 in the front end. We all have these in our homes. We
15 have these in the commercial space too. We have to
16 convert the AC to the DC to supply the chips on the
17 board. In this example, it's a computer but you see the
18 power supply in the picture in the middle that's
19 removable from this computer but it's the conversion
20 device that supplies DC to the circuits inside.

21 When we look at residential consumer
22 electronics over 2005-2030, this is an example that
23 shows the growth rate that is projected by the Annual
24 Energy Outlook from the Energy Information
25 Administration of the Department of Energy so it's the

1 AEO from the EIA from the DOE. But this is data from
2 their projects out to 2030 and it looks as if these
3 loads are going to grow. These are plug loads and TVs
4 and PCs and so on. So with that kind of growth rate, we
5 feel like we need to pay attention to these things.
6 Another example of that from 1972 to just last year, and
7 I like this picture because it looks a little like my
8 house, when you go back to 1970 you may have had just a
9 few devices that had electronics in them or that we
10 would consider plug loads but today, as you can see, the
11 proliferation is significant.

12 So previous work that we did for PIER, showing
13 how power factor correction in computers could save
14 energy in building power distribution systems. It's
15 showing in this graph we're studying 80 plus power
16 supplies in computers. The study shows that there's a
17 significant savings from the 80 plus power supplies
18 increased efficiencies and we show that in the red bars
19 and we normalize that to 100 percent. What we want to
20 show here is the piece of the bar chart that is blue
21 that shows the additional energy savings achievable
22 through this power factor correction. And this is an
23 easy thing to do in the power supply. It just takes a
24 chip and controller and they can correct these things at
25 a fairly reasonable cost. When you put that into the

1 picture, the examples that we show go from a 40 foot
2 circuit out to a 200 foot circuit to look at examples
3 from residential through commercial space. When you
4 look at the 100 foot example just as a nice, typical
5 circuit length in a home or a commercial space—
6 commercial building, the additional savings on top of
7 the efficiency savings are about 20 percent more. So we
8 get another 20 percent savings on top of the savings we
9 got from a more efficient device. This resulted in the
10 Energy Star spec in 2007 that shows for computers,
11 desktop computers, to be 80 percent efficient across
12 their load factor and to include power factor correction
13 up to 90 percent. And so that is a significant result
14 and we think that there's more opportunity.

15 What's the opportunity? That study showed
16 about 300 million kilowatt hours for California in
17 savings for computers alone. But if we include PFC for
18 all electronic devices, we could get nearly 2 percent of
19 all the plug load energy in California. And if you
20 assume 10 percent of the QS load, that's 10 times more
21 for the US. So it's nearly half a Rosenfeld which is a
22 500 megawatt power plant and so it's 1.4 billion
23 kilowatt hours for California automatically.

24 Some other research that's we're doing for
25 PIER currently that will inform this process includes

1 the TVs, motor drives. We're looking at induction
2 cooking, home audio, multimedia computers, kiosk
3 computers, low end computing devices out there in the
4 commercial devices. You'll find them everywhere. That
5 can be a good opportunity for savings there. We're
6 going to analyze those and find out what that
7 opportunity is. Adjustable speed drives. Speed control
8 in motorized appliances is slowly growing in the market.
9 We want to study those opportunities and look at ways to
10 make them more readily available and ways to make them
11 demand responsive. So to get some communications built
12 into the drive would be key and would make it easy to
13 send a signal to those devices and create some load
14 check.

15 Finally, we're going to look at the electronic
16 devices that currently lack power correction factors and
17 study what the opportunities are there. So basically,
18 these are just some nice examples of those other
19 projects. The last one is the one that I want to key in
20 on today because we're going to do a study that will
21 define what the typical residential and commercial
22 circuit layouts look like, we're going to define what
23 those table sizes are, we're going to look at lab
24 testing and field testing for the electronic devices and
25 the losses they cause in this building wired and then

1 we're going to identify what the savings potential could
2 be from including power factor correction and we think
3 that will inform the process that we've talked about
4 today. Thank you.

5 MR. RIDER: Thank you very much. So our last
6 presentation is Ted Pope from Energy Solutions I believe
7 who is presenting on IOUs.

8 MR. POPE: Thanks, Ken. Again, Ted Pope with
9 Energy Solutions on behalf of the California IOUs.
10 Commissioner, advisors and staff, thank you for the
11 opportunity. Frankly a lot of the wind has been stolen
12 from previous conversations so I think that I can push
13 through this rather quickly.

14 I'll be just quickly hitting on just 5-6
15 electronic categories including computers, servers, set
16 top boxes, game consoles and imaging equipment and I
17 think that's my list right there.

18 Just generally we've heard comments from
19 industry and NRDC and others on all of these topics so
20 there's not a whole lot of materials here so if we could
21 slip down several slides.

22 Okay. Since we've already seen three
23 different interpretations of the EIA data, we're going
24 to throw in another one. This is another view showing
25 on the horizontal access the short term increase in

1 energy use from various different end uses. On the
2 vertical axis is the long term 2008-2030 forecast in
3 terms of annual growth rates. So you can see a lot of
4 the products on our consumer electronics list are in the
5 high right corner there, meaning they had significant
6 near term or recent growth and also are forecasted for
7 quite a bit of long term growth in terms of aggregate
8 energy use.

9 First product, computers and servers. Fairly
10 similar to what Noah and Pierre discussed. The IOUs are
11 looking at standard solutions that involve maximum
12 energy requirement, more efficient power supplies and
13 looking at power proportionality in servers.

14 As far as the saturation of products, we're
15 looking at about 2 widgets per household in California
16 using about somewhere in the neighborhood of 5 percent
17 of total California for those product categories. Based
18 on the modeling we've done so far, and this is very
19 preliminary, and as a nod to Doug this is a very
20 simplified, technical potential analysis not looking at
21 the natural market adoption but if you magically turned
22 a switch now and switched over to efficiency level being
23 modeled you'd be looking at savings on the order of one
24 percent of total energy use in California. All for a
25 present value on the order of \$50-100 per computer or

1 \$200-600 per server so substantial economic benefits.
2 Again, it's a more complicated model to look at
3 attribution between the various different market
4 changes, whether it's Energy Star or the standards that
5 we're discussing natural market adoption.

6 So again we're looking at power supplies,
7 proportionality in servers, power management and
8 enablement is a huge issue. A lot of the manufacturers
9 are including power enabling in their products but it's
10 a question of getting that set to factory default for
11 when it comes out of the box in that mode. And we're
12 also looking forward to engaging with industry on
13 identifying ways of setting limits on different
14 performance modes as a means of saving substantial
15 energy of where it's not actually providing a lot of
16 productive value.

17 Key considerations. A lot of components of
18 computers and servers have opportunity for efficiency
19 improvements so it's not just power supplies for
20 example. There's more efficient memory drives and so
21 forth. There's a lot of examples in the marketplace
22 already of the efficiencies we're talking about pushing
23 forward on a standards basis so this isn't rocket
24 science for the most part.

25 In particular, the power management enablement

1 we're talking about generally has fairly modest or no
2 cost associated with it. In put as far as what we'd be
3 looking for from other stakeholders in this venue would
4 be feedback on power limits by mode and if we were to go
5 down that path, power management enabling data. We know
6 that the amount of out of the box enablement is
7 increasing over time and it would be good go have better
8 data as Doug is suggesting. It sounds like CEA is
9 planning to come to the table with a lot of good data,
10 starting with their report in September and we look
11 forward to more specifics beyond that. And then there
12 may be other standards approach that make even more
13 sense or make it more cost effective in achieving the
14 end results that everyone is looking for.

15 And as far as set top boxes, currently our
16 thinking is along the lines of standards for the set
17 tops box family and then test and list for certain small
18 scale network devices such as the Internet modems and
19 optical modems.

20 Here we have data estimating that there is
21 approximately 17,000 of these STPs in California
22 including the primary box as well as the peripherals
23 around the house for the second and third TVs. Energy
24 use, using on the order of 1 percent of energy use in
25 California so it's still a pretty significant standalone

1 use savings opportunity, according to our modeling it's
2 on the order of up to half a terawatt hour a year and
3 that's on a stock turnover basis.

4 We don't have a find beat yet on incremental
5 costs but it looks pretty cost effective compared to
6 what we've seen so far. Per unit basis, lifetime
7 avoided costs on the order of \$7-21. I'm sure that
8 number will be refined even as we move forward in the
9 next few weeks but it adds up over almost 20 million
10 products to be quite a bit of energy.

11 So as far as STBs go, I mentioned, and we're
12 talking about test and list for the small network
13 devices but for the boxes themselves, looking at the
14 total energy use allowance.

15 I guess I've hit those points. Key trends, I
16 think everyone here understands for the most part it's a
17 complicated market. You've split incentives between the
18 provider of the boxes and the customers that are paying
19 the energy bill. There's issues between the head end of
20 the system at the service provider and then how the
21 boxes perform so it's complicated but there's a big
22 opportunity that need to be looked at closely.

23 As far as requested information, we'll be
24 looking at two other stakeholders to help provide the
25 most current statistics on what the STBs are actually

1 using in the different power modes and I think we heard
2 some very interesting comments today from several folks
3 as far as the future trends and multi-location boxes and
4 those issues are going to be very important to fold into
5 this savings analysis.

6 As far as displays and computer monitors, this
7 is another very large opportunity that the IOUs are
8 looking at on the order of two of these products per
9 household in California. Energy use is very large.
10 Again, over one percent of total use. I should mention
11 that in our mind we're looking at computer monitors,
12 professional displays in the 30-60 inch category. We're
13 not including, so far, in our analysis the very large
14 billboards you see. And then on top of that, the
15 digital photo frames that have become ubiquitous in
16 households.

17 The savings opportunities to us appear large,
18 looking at about a terawatt hour a year once the stock
19 rolls over. A fairly modest incremental cost based on
20 what we've seen so far. An on average of \$30 per widget
21 and again on a scale when you have so many products and
22 services, it's a big number in terms of dollar savings
23 for customers.

24 And looking at active, standby and off mode
25 efficiency in the approach that we've been looking at so

1 far and also we've been looking at illuminants and
2 automatic brightness controls. Key considerations
3 include reducing power level due to more efficient
4 backlighting for those displays, particularly when
5 equipment is not in use. A growing use of displays in
6 residential, consumer settings that does appear to us to
7 be a category where there is a lot of growth forecast in
8 terms of products and total square footage and surface
9 area deployed. And then complicating the equation a
10 bit, as is common in the consumer electronics field, is
11 the convergence of technology with televisions and
12 refrigerators and such. Requested input from
13 stakeholders, functionality versus the power
14 relationships. Where do you really need the power to
15 deliver the customer value? And then again, trying to
16 refresh and develop a pretty sizable data set in terms
17 of energy use and by performance level.

18 MR. RIDER: Just about a minute left.

19 MR. FORTENBERRY: That's perfect. Just
20 wrapping up. I don't have slides on the last two. The
21 game consoles are addressed pretty well already. But
22 the Investor Owned Utilities are very interested in
23 looking at options from the standards approach on those
24 products and then imaging equipment is something else
25 that I don't have the slide for here but scanners,

1 multifunction devices and other related imaging
2 equipment is something that investor owned utilities are
3 very interested in the savings opportunities in this
4 proceedings so we'll be looking at that and providing
5 more specific data in the weeks ahead in terms of
6 templates and I think Pat mentioned earlier this
7 morning. So with that, I appreciate the opportunity.

8 MR. RIDER: Thanks, Ted. So that wraps up the
9 electronics panel. A lot of good information and a lot
10 of opportunities out there. And we'll look forward to
11 getting more detail in the public comment process. I
12 think it's lunch time.

13 COMMISSIONER DOUGLAS: Are we back at 12:45?
14 Is that right?

15 MR. RIDER: That was the original schedule.
16 Would you like to--do you have a 5 minute more?

17 COMMISSIONER DOUGLAS: Let's come back at--
18 yeah, let's do 5 minutes more. Let's come back at 10
19 minutes to 1. I'd like to thank everybody. I know a
20 number of panelists traveled some distance to come here
21 and we appreciate your being here and your
22 participation. Thank you and we'll be back at 10
23 minutes to 1.

24 [WORKSHOP BREAKS AT 12:15 P.M. and RECONVENES AT 1:02

25 P.M.]

1 MS. DAVID: Good afternoon, everyone. Welcome
2 to the afternoon session of the Appliance Efficiency
3 Program's Scoping Workshop. Commissioner Karen Douglas
4 is the Presiding Member of the Efficiency Committee and
5 we are all happy to hear your comments on what you think
6 are--what you would like to recommend for our priorities,
7 suggest other topics and offers of assistance as we look
8 at possibly doing regulations in the future.

9 This afternoon's panel is the lighting panel
10 and we're going to go in order of speakers as they
11 appear on the agenda. So first to start out is Randal
12 Higa from Southern California Edison.

13 MR. HIGA: Thank you, Paula. My name is
14 Randal Higa. I'm with the Codes and Standards Program
15 with Southern California Edison. And thank you for
16 allowing us to speak today.

17 So there's going to be two of us talking about
18 the lighting proposals at the statewide codes and
19 standards program has to propose. So it'll be a tag
20 team between myself and Michael McGaraghan of Energy
21 Solutions. So as you can see in the agenda, we've got
22 dimming ballasts, multifaceted reflector lamps, LED
23 lamps, outdoor lighting, lighting accessories, linear
24 fluorescent fixtures and ICA 2007 exempt lamps.

25 I'm reading that because the power point isn't

1 up yet.

2 MR. STRAIT: Is there any presentation that
3 you would like me to load?

4 MR. HIGA: If you could just go to the IOU
5 presentation.

6 MR. STRAIT: All right. Here we go.

7 MR. HIGA: So just as a way of introduction,
8 we'll soon get to---let's see. As this slide indicates,
9 lighting is a substantial fraction of the state's energy
10 demand, 22 percent residential and 35 percent of
11 commercial energy. So one of the things that--so it's a
12 big slice of the pie that we're addressing here and that
13 we want to address here.

14 MR. STRAIT: I'm sorry. There's one issue.
15 I'm just going to have to change something. I'm sorry.
16 Desktop sharing was not enabled. It is now enabled. So
17 now people attending remotely can now see the slides.

18 MR. HIGA: Okay. Thank you. One of the
19 overriding sort of drivers for reducing energy use is AB
20 1109, the Huffman Bill, and as you can see there the
21 goal is to reduce 50 percent of residential lighting,
22 energy use by 2018 and 25 percent commercial indoor and
23 outdoor energy use by 2018. And I think the baseline on
24 this was 2007. This is not per household, this is not
25 connected lighting. This is actual lighting use. It's

1 not just a matter of reducing lighting wattage. It's a
2 matter of actually making sure that lights are as
3 efficient as possible and they're off or dimmed when
4 possible.

5 And with that, I'll just get started with the
6 first proposal which is dimming ballast.

7 MR. STRAIT: If you'd like, I can advance the
8 slides for you.

9 MR. HIGA: Okay. No, it's okay. So this
10 proposal is for fluorescent ballast to propose energy
11 efficiency standards for dimming ballasts when--and
12 possible limits on standby energy use. So this ties in
13 with the Title 24 proposal that the utilities have to
14 increase the usage of controllable ballasts in non-
15 residential buildings. So while the market penetration
16 of dimming ballasts may not be as high, we believe that
17 the Title 24 requirements that's being proposed for the
18 2013 Title 24 standards will greatly increase the use of
19 dimming ballasts. So we feel that the energy savings
20 potential is, therefore, going to be a lot higher. And
21 that's why in the first item it says California stock
22 and sales projected to 2014. So that's where we are
23 now. Or that's where we will be in 2014, I think, is
24 the way the numbers are. So after the code goes into
25 effect.

1 And again, just to be clear, this proposal
2 doesn't state when dimming ballasts are to be used or
3 how they are to be used. This just says if dimming
4 ballasts are to be used, they're going to be---there's
5 going to be an efficiency requirement for that. I want
6 to make sure that we're clear on that.

7 If you look at the incremental costs for
8 example, \$0-10 we've heard reports that there may not be
9 any increase in costs going from a standard dimming
10 ballasts going to an energy efficiency ballast, a
11 dimming ballast. So again, we're going from a dimming
12 ballast to dimming ballast. This is not from non-
13 dimming to dimming. This is from dimming to dimming.
14 So I want to make sure that we're clear on that, so
15 that's what these numbers are based upon.

16 We're looking at right now trying to determine
17 what is the best metric to use, whether it's relative
18 system efficiency, RSE, or ballast luminous efficiency,
19 BLE, metric. I think most of you know that BLE is the
20 one most recently adopted by the DOE and that seems to
21 make the most amount of sense but we certainly welcome
22 all of your input on what would be the right metric
23 there.

24 As noted, the key consideration, we expect, a
25 dramatic increase in dimming ballast usage because of

1 the Title 24 proposal. And as far as other
2 stakeholders, we would like to get input as far as other
3 test methods, any feasibility concerns and standby
4 wattage data.

5 So I'm going to, for the next few, let Mike
6 take over.

7 MR. MCGARAGHAN: Thank you, Randal. Mike
8 McGaraghan with Energy Solutions, representing the
9 California IOUs as well.

10 The next topic here, multifaceted reflector
11 lamps, the proposal here—well first, a little background
12 so everyone is on the same page. Multifactor reflector
13 lamps, more commonly called MR lamps, and the most
14 common type is the MR 16 lamp. It's a low voltage, high
15 luminous intensity lamp. It's typically used in track
16 lighting. It has a lot of control over the beam spread
17 so it's a great application for retail art galleries,
18 often also a residential sector lamp.

19 The current baseline product is a halogen MR
20 16 and it's sitting at about 12 illuminants per watt and
21 there are a lot of opportunities to go beyond that.
22 Baseline products are usually 50 watt, 35 watt or 20
23 watt products. You can improve on that with halogen
24 infrared technology, getting up to easily 16 illuminants
25 per watt and with better halogen infrared you can go

1 beyond 16 watts.

2 And then, of course, best in class now you
3 have LED MR 16s which I don't even want to put
4 illuminants per watt on them because whatever I say
5 today is probably going to be better tomorrow as they're
6 improving so quickly.

7 Shipments here. There's a significant amount
8 of shipments at 9 million. And what's notable, one of
9 the notable things about this product class is that it
10 seems to have sort of escaped standards so far. There
11 are federal standards for other reflector lamps, par
12 lamps, R-lamps of slightly larger diameters. In fact,
13 there's new federal standards coming into play in 2012
14 but MR lamps have been uncovered and so there's a great
15 potential for standards here. Also the European Union
16 is developing directional lamp standards that will
17 include MR lamps.

18 A standard here would drive the market towards
19 high efficiency MR 16s. It would potentially also
20 require minimum light quality and performance
21 specifications which I'm going to talk about in the next
22 presentation. And we could also look at tiered standards
23 and the reasons for that is because as I mentioned,
24 there's basically two main steps. One is to HIR and one
25 is to LED. I think as of a year or two ago, LED wasn't

1 even ready to being the discussion for lamp standards
2 here with MR 16 but even just in the last two years,
3 illume output has doubled, CRI has come up from 50 and
4 now you're approaching 90 and other concerns about LEDs
5 a year ago in this application seem to be going away
6 rather quickly with all the progress that manufacturers
7 are making so we didn't want to rule it out of a
8 standards process. We think that by 2014 or if we were
9 to do a tiered approach in 2015, 2016 there might still
10 be potential there to push that far forward based on the
11 progress that lamp is making.

12 So requested input. Primarily product
13 development trends and the market potential and with the
14 progress of the various high efficiency lamp types, what
15 kind of progress is forecasted over the next few years.
16 Also feasibility concerns, we want to work through some
17 of those. Especially, making sure that we can still dim
18 these products and that existing transformers are going
19 to work with the retrofit products.

20 And also, I didn't mention this at the
21 beginning, but MR lamps include MR 11s which are a less
22 common product than MR 16s but we'd be interested in
23 getting some more feedback from industry on that product
24 type.

25 So, as I mentioned here, the next presentation

1 is going to touch more on performance requirements. The
2 standard here is a proposal for LED lamps and
3 potentially looking at all three of those LED lamps, A-
4 lamps which are just your sort of basic household lamps,
5 directional lamps like the ones we just discussed and/or
6 linear LED lamps. And I want to be clear that we're
7 proposing any standards that would require LED. We're
8 targeting in on the LED lamps themselves. The standards
9 we're looking into here would set minimum performance
10 requirements such as dimming and lamp life, also minimum
11 light quality standards like CRI or color temperature
12 specs as well as modest efficiency requirements in terms
13 of illume per watt requirement for LED lamps.

14 As you can see the first order savings is
15 relatively small here, 7 gigawatt hours and that's the
16 direct savings resulting from a slight increase in LED
17 efficiency in a standard.

18 What we're really getting at with this
19 standard is really what we're calling the second order
20 savings. The goal with the standard is more to ensure
21 LED lamp quality. I think the example of the CFL comes
22 to mind here where a lot of poor quality CFLs hit the
23 market very quickly. Products often initially didn't
24 dim well, products burned out, products didn't
25 necessarily provide the light quality consumers were

1 looking for and even though those things had now
2 improved significantly, consumer confidence in CFLs has
3 taken a while to recover. So the point here is to
4 ensure that quality LED lamps are hitting the market and
5 to try to preserve some of that consumer satisfaction
6 with the product class and speed of adoption of the
7 technology.

8 So this would definitely take some significant
9 collaboration with the industry to figure out what are
10 the optimal lamp performance features that we want to
11 look at here, what are reasonable light quality
12 standards, what can be achieved in 2014 and at what
13 cost. We don't want to keep that cost high forever but
14 there may be certain features or performance features
15 that can be done at reasonable cost.

16 So that would be the main request of input
17 too, cost forecast for these various performance
18 features.

19 In the next slide here, it shows a little bit
20 of what we're talking about in terms of second order
21 savings. 2018 some forecasts put LED lamps at 5 percent
22 market share. So if we can ensure only good quality
23 LEDs are hitting the market and consumers understand
24 what they're buying when they buy an LED, that could
25 increase the rate of adoption. So there's some savings

1 potential there if you were to increase from a business
2 as usual 5 percent to something like 7 percent, 12
3 percent or 20 percent market share by 2018 then we're
4 looking at savings of on the order of 80, 200, 70, 600
5 gigawatt hour savings. That's really the aim of this
6 standard.

7 And there at the bottom, just noting that
8 directionalities in linear LEDs have smaller market
9 shares right now but standard levels could exist for
10 that product class as well.

11 MS. DAVID: Two minutes.

12 MR. MCGARAGHAN: Okay. I'll try to speed up
13 here. Outdoor lighting is based on a negotiation that
14 happened in 2009 between manufacturers, NEMA and energy
15 advocates and utilities. It set performance
16 requirements based on bug category which is backlight,
17 uplight or glare categories. Those category levels were
18 agree on and then never made it into the federal energy
19 bill. The federal energy bill didn't pass last year so
20 this proposal is or more or less taking that work which
21 was started and moving it forward. I think there's been
22 some efficiency gains in the last few years so we could
23 probably push farther on the efficiency levels that were
24 agreed on and take a look at the controls ready
25 requirement for certain street lighting, roadway or

1 outdoor lighting.

2 I think I need to be moving a little bit more
3 quickly here. I think I hit the key points there. This
4 is again the controls ready requirements. This is
5 something that we need to work with industry on to get
6 that right, to make sure we're future proofing these
7 fixtures.

8 Moving on here, lighting accessories. These
9 include night lights, decorative string lights and
10 illuminated house numbers. Essentially for all three of
11 these, we're proposing a minimum energy use standard—I'm
12 sorry, a maximum energy use standard or a maximum power
13 per volt standard. All of these, the baseline is still
14 an incandescent lamp of some sort. Generally, each of
15 these have several different efficiency options to go
16 beyond that whether it's more efficient incandescent or
17 CFL or LED.

18 Key points here for nightlights where often
19 these lights are serving an important safety feature and
20 you need them to provide light so we're looking at
21 basically we're looking at an energy metric so we're
22 trying to require them to be turned off with a photocell
23 or an occupancy sensor.

24 With the other two, decorative string lights
25 and house numbers, the focus is more on power per volt

1 requirement rather than an energy use requirement. I
2 think that that wraps it up for that slide and so I'm
3 going to turn it over to Randal to cover the last topic
4 that the IOUs going to propose.

5 MR. HIGA: Okay. This proposal is to address
6 those light bulbs that were not addressed by the federal
7 government in the ICCA legislation. There were certain
8 lamps and bulbs that were excluded and so we're looking
9 at all of them to see if there is--what the benefit would
10 be to look at the regulation of those. Because we're
11 sort of--this one is less developed, so we don't have
12 hard numbers here but we're specifically choosing or
13 looking at three-way lamps in the 26--above 2,600 to
14 3,000 lumen range and maybe some of the special purpose
15 like shatter resistant, heavy duty although those may be
16 less viable, and then the candelabra base and the
17 intermediary base. We're looking at all of those types
18 of lamps. We think that there may be a possibility of
19 gaining efficiency since all of them can accommodate the
20 halogen capsule for greater energy efficiency.

21 So we're looking at a proposal that would sort
22 of line up these exempt bulbs with those that are
23 already covered which is approximately 30 percent lower
24 in energy use. Some of these products are available
25 today in the market and we think that there's some

1 potential for pursuing this so again we would like to
2 hear any input you have on that specifically sales data
3 on candelabra and intermediary base lamps.

4 Last one I'm going to cover is linear
5 fluorescent fixtures. We are aware of the federal
6 regulations regarding ballasts and lamps. Title 24 is
7 also getting more stringent so we don't see huge
8 opportunities in terms of actually having an efficiency
9 standard for this but we're rather looking more at a
10 test and list requirement. The primary purpose of that
11 is to provide more information to lighting designers so
12 they could make better choices and save energy in that
13 way. We're looking at using the energy effectiveness
14 factor and the efficacy rating value as some of the
15 metrics for determining that. So again, any input you
16 have on that would be welcomed.

17 And that's true for all of the proposals the
18 investor owned utilities have. Again you saw the email
19 contact information for all of us; again we welcome your
20 input. Thank you.

21 MS. DAVID: Thank you, Randal and Michael.
22 Next is Konstantinos Papamichael from the California
23 Lighting Technology Center at UC Davis.

24 MR. PAPAMICHAEL: Good afternoon, everybody and
25 I'm happy to be here and give the perspective of the

1 California Lighting Technology Center representing also
2 Michael Siminovitch. I will talk about LED lamps
3 focusing on the displacement lamps. The comments that I
4 will make have to do with, in general, all light sources
5 not just LEDs but we see with LEDs an amazing
6 opportunity, similar to the one we had with CFLs and we
7 failed with those, and we think that this is going to be
8 a unique opportunity and that we should take advantage
9 of it.

10 If we go to the next slide, I tried to put
11 together a list of what we have heard from people on why
12 they didn't embrace, if you like, the compact
13 fluorescent lamps. And, as you can see, nobody had any
14 problems with energy efficiency with lumens and with
15 watts. Most of the problems that they had, see the left
16 column, was mostly the lighting. The direct service
17 that these lamps are supposed to provide.

18 So they had problems with low light color and
19 appearance, the color of the light itself, light color
20 consistency, 2 CFLs from the same box would give
21 slightly different color, one with little bit pinkies
22 and the other with little bit greenies, etc. Color
23 rendering was a big one. Color rendering is the ability
24 to render color on objects. At the time of full
25 brightness, you turn the light on and you have to wait

1 for quite a few seconds if not half a minute or more to
2 get the full brightness. Flickering, dimability, many
3 of those were not even safe to put on a dimmer. Another
4 pretty interesting thing that I heard was the lack of
5 drama. People used to fluorescent lighting and
6 incandescent lighting being a source of producing sharp
7 shadows. They didn't get those sharp shadows with an
8 area lamp. And on the right side, there is mood
9 lighting issues. And I put these in chronological order
10 as I remember these coming to us and also myself
11 experiencing them. I remember the first ones being
12 really huge area of sources; they need to have area in
13 order to produce the light. The shape, many people
14 didn't accept it aesthetically if you like. Now we are
15 hiding it, it is much more effective. Buzzing from many
16 of fluorescent lights. Even as I lose my hearing I can
17 still hear the buzzing when I put some in the kitchen.
18 Health is a big issue and we all know about the mercury
19 issue which is also related to the disposable. So you
20 buy a CFL and then something happens and you don't
21 really know what to do with it. I'm pretty sure we're
22 all had this problem.

23 Another thing that we have not been
24 addressing, mainly because it's a relatively new—about
25 12 years, the effects that light has on circadian

1 rhythms and our well being. During the night, the body
2 doesn't want the light in the blue part of the spectrum
3 because it interferes with the process of the body
4 trying to get ready for sleep. As we all know, CFL
5 threw a blue spike into them and risked maybe another
6 reason for people not clicking to them without even
7 knowing it.

8 And finally, the longevity is interesting
9 because I tried to sell CFLs on the longevity argument
10 and when I persuaded my wife with better CFLs to change
11 all of the lamps in the kitchen, I lost all of them in 6
12 months because these locations weren't designed for
13 CFLs. They got warmed than the manufacturer's expected
14 and they didn't last. And at the line at the bottom is
15 truly the value that consumers see with these type of
16 argumentation because they ended up obviously paying
17 more for less or, if you consider the life cycle cost,
18 paid more again for less. We think that these are the
19 main reasons that CFLs didn't really make it.

20 And the learning from that is that we can do
21 better with the new sources, the LEDs.

22 If we go to the next slide, and I'm not going
23 to stay much on this, these are the LED lamp issues and
24 you can see that many of those are pretty much the same
25 issues that we had before. Light color appearance,

1 light color consistency. With LEDs we have it not only
2 over time but among same light color lamps. As the
3 lamps age each lamp takes its own path and the colors
4 change. Color rendering is again a pretty interesting
5 one. Not only for consumer acceptance but we also
6 believe that we may be missing a savings opportunity.
7 Lower lumens provided doesn't necessarily mean more
8 energy or less energy savings. There have been studies
9 that have shown high color rendering sources provide the
10 conception that higher brightness which may mean that
11 it's a balance of luminous efficacy and color rendering
12 that we should be considering. Dimability is still an
13 issue to make it close to what people expect. Longevity
14 I expect may again be an issue if we put LEDs into
15 places where incandescent felt very comfortable like
16 where my CFLs failed in the kitchen. The health is
17 still an issue with LEDs. The white projects a huge
18 white light with a blue spike so I think that we need to
19 address that. It's not a hard issue to resolve once you
20 acknowledge that it's an issue as we can try to take the
21 blue out. And finally, the cost we're going to have to
22 make sure that people are seeing value in what they buy.
23 Which brings me to the next slide and the last
24 slide of this presentation on the opportunities. We see
25 tremendous opportunities with a huge energy savings

1 potential. The LEDs are five times more efficient even
2 more at this point than the LED price lamp was 93 lumens
3 per watt. Also the fact that they are controllable
4 pretty easily with photo sensors, with occupancy
5 sensors. So the combination of the source efficacy and
6 the extra savings from controls truly have the potential
7 for huge energy savings. Another interesting one is the
8 extensive DR. As solid state lighting, it lends itself
9 nicely to communications and truly if you can imagine
10 millions of controllable LED lamps where with a press of
11 a button I can make them reduce their light output or
12 power consumption by 20 percent. We think that's the
13 future of the distributed power plant. That there is a
14 lot of potential there.

15 And, finally, even though that we have the
16 blue spike that I mentioned before which is an issue on
17 the health, it can also offer a great opportunity
18 because we can use them to provide dynamic spectrum
19 power in distribution and change the color of the
20 composition of the light to have the blues during the
21 day which we want and our bodies want to wake us up and
22 keep us alert and then take them off during the night to
23 allow us to go to sleep. And something like that, I can
24 see that's the last sentence there, I think that's the
25 first time we're going to see inherent value lighting.

1 So far we're trying to sell them based on economics and
2 payback periods, etc. which is an obvious statement that
3 we don't see inherent value in energy efficiency.
4 Positive health and well being effects, I see them as
5 having inherent value for ways mom and dad will pay a
6 lot of money to make sure their kids get a better sleep
7 during the night and study more effectively during the
8 day. Thank you very much.

9 MS. DAVID: Thank you, Doctor Papamichael. Our
10 next group, tag team from the American Lighting
11 Association is Dick Upton and Terry McGowan is on the
12 phone. Great, thanks Dick.

13 MR. STRAIT: Let me find and then unmute Mr.
14 McGowan. On second.

15 MR. UPTON: Thank you. I'm Dick Upton and
16 President and CEO of the American Lighting Association.
17 Our Association represents people who design lighting,
18 manufacture it including lamps, fixture manufacturers,
19 ballast manufacturers, dimming manufacturers and others.
20 The manufacturers, representatives, the independent
21 retailers are located in the United States, Canada and
22 the Caribbean. So we cover a broad gamut and some days
23 that makes my job rather interesting.

24 I had the opportunity to come in this room and
25 participate in a previous discussion about five years

1 ago. And the question that was before you was what can
2 we do with portable lighting. And the original
3 conversation was let's put in a dimming product on it.
4 And I said at that time, because we didn't feel it was a
5 good decision to get quality of light or to get a
6 successful acceptance by the public but we also had a
7 question of what was really doable with that. I said at
8 that time; let's work together because if the government
9 and industry and advocates all say three different
10 things we'll no acceptance for transition whatsoever.

11 And out of that we spent a bit of time and we
12 get some help from Pam Horner who's here today with the
13 thought, we ended up with bulb in a box. And we've got
14 five different pathways that manufacturers can achieve
15 that in for what they want to do to get portable fixture
16 successful and that's been very helpful to our industry
17 and we think that you're saving more energy than if we
18 had put a power limiter one because we know there would
19 have been less product choice in the marketplace.

20 I come to you today anticipating a little
21 different format. I thought we were simply going to
22 have a roundtable and we'd be sharing and discussing
23 some ideas but happily I made some notes while I was on
24 the aircraft. The unfortunate thing is that I have to
25 read my own writing.

1 [LAUGHTER]

2 But we really come to you today suggesting on
3 all of these issues on Title 20 that a big picture kind
4 of focus is what we had in mind. We'd like to have a
5 lot more discussion with you and your staff and the
6 people who are here making proposals on some things, I
7 certainly want to talk to your folks on three-way lamps,
8 candelabras but the suggestion we have for you is that
9 we would suggest that you encourage support and invite
10 industry to really be engaged with you on the innovation
11 and market competitiveness that will give you more
12 product in the marketplace and achieve what we want to
13 achieve which is 50 percent reduction by 2018.

14 That leads me to a question for you though
15 that I hope I'd like to lead with and answer here today.
16 I know where we have to get to but where are we today
17 with energy savings? Are we with 1/3 of what needs to
18 be saved to get to the 50 percent mark, are we at 40
19 percent, are we at 20 percent? So we know what we're
20 trying to short for and what's still out there.

21 And that being said, just one detail, can we
22 sit down at a table, if there's another 10-12-15 percent
23 to go and find another 3-4 big answer items rather than
24 death by 1,000 cuts that's 1-2 percent.

25 But while we talk about taking a positive

1 approach to gaining industry involvement. The
2 antithesis of that, we think, is focus on restriction to
3 current products, actions that diminish competition and
4 innovativeness which include costly operating design
5 systems. We think our people know design and systems as
6 well as anybody. The performance testing by third
7 parties where we've already done testing that should be
8 applicable in reporting. Reporting requirements that
9 are duplicative. And, lastly, an over concern we think
10 with illumine output and on nightlights, we've got a
11 very good example of a lumen requirement that out not to
12 be there because it's a great product. But the lumen
13 output says that you have to put more power into the
14 fixture, more than you need. I'd be happy to discuss
15 that in more detail.

16 We anticipate that some in the room may find
17 the points we've made to offer a different approach to
18 what you're doing today. I think I would call it an
19 alternative approach that is made to the CEC Draft Staff
20 Report on Achieving Energy Savings in California
21 Buildings that was dated July of 2011. That report on
22 page 13 said that Title 20 is uniquely positioned to
23 improve end use product efficiency. Furthermore, by
24 requiring endues products to be efficient by laws,
25 appliance standards are quickly in a most influential

1 way and to cause market transformation in achieving our
2 goal.

3 We believe that our points are complimentary
4 to that position. And it's critical to the success that
5 CEC wants and needs to achieve. To be successful,
6 industry, and that means manufacturing and all the way
7 downstream to retailing, needs and wants to be involved.
8 If anybody you know, we're more excited than anybody
9 about the industry's new technologies and systems that
10 have the potential for enhancing consumer's quality of
11 life and the efficiencies that we all want to gain.

12 We have been and will continue to be your good
13 partner. To be successful and successful at an early
14 time will take products that consumers want and will
15 embrace and we encourage and urge the CEC to move
16 forward by encouraging industry to 1-remain involved as
17 we are today, to focus on encouraging voluntary industry
18 innovation, to encourage market competitiveness and
19 entry in all lines of lighting products in California
20 and reduce and eliminate actions that negatively impact
21 improvements, competitiveness and entry.

22 And that's the formal part. I'll send the
23 written part to you in copy.

24 MR. STRAIT: Do we also want Terry McGowan to
25 speak?

1 MR. UPTON: I do want Terry to join us for
2 another piece of this.

3 MR. STRAIT: Simply let me know. We'll have
4 to unmute the line to locate that caller.

5 MR. UPTON: Thank you. We have the most
6 exciting activity going on in our industry today and I'm
7 sure many of the rooms, as well as yourselves, have been
8 to Lightfair. The changes that are going on in the
9 industry around light sources today is almost
10 incomprehensible from one year to the next. And you
11 don't wait for one year to go by, you talk about three
12 months or six months. And I think one of the really
13 great challenges that we have is inserting ourselves
14 into the marketplace that diminishes the opportunity for
15 innovativeness and saves more energy. And I look
16 forward to exploring that with you further.

17 But the Director of Technology and Engineering
18 for the American Lighting Association is Terry McGowan
19 and Terry's out of Cleveland and with us on telephone.
20 And he's pointed us in the right directions as I was
21 suggesting to you earlier today. And he has some
22 thoughts about another aspect of an equation that needs
23 to be brought into how we save energy. So let me ask
24 Terry McGowan to take a piece of our discussion.

25 MR. STRAIT: One moment, please. Terry

1 McGowan could you attempt to speak?

2 MR. MCGOWAN: Yes.

3 MR. STRAIT: We can hear you but let me just
4 up the level here.

5 MR. MCGOWAN: Okay.

6 MR. STRAIT: Go ahead.

7 MR. MCGOWAN: Well, thank you very much. I
8 appreciate Dick's comments and I'm very pleased to
9 address the meeting by telephone.

10 What Nick was talking about was something that
11 we have been discussing in the American Lighting
12 Association now for at least a year and we've been
13 watching the technology develop that would help us
14 achieve this. It boils down to a very simple idea, that
15 the energy that we would like to control and reduce is a
16 function of both power or the use of electric power by
17 the appliance, in this case the lamps and lighting
18 system, multiplied by the time that power is used. So
19 energy equals power times time, a very basic kind of
20 equation. So far, especially in Title 20 we have
21 regulated energy by regulating power. So it's as if in
22 residential lighting we have had one arm tied behind our
23 back. We have lacked the ability to regulate the second
24 part of the equation, the time part which of course is
25 normally done interdentally of regulation by means of

1 dimmers and switchers and so forth. There's user
2 control involved and it's been very difficult to get our
3 hands on that user control so that we can at least get a
4 potential estimate of what those savings are and begin
5 to think about how we might enhance that regulatory part
6 of the equation. But as the technology has moved
7 forward, we're beginning to see some ways that, for
8 example, let's say a portable lamp with a chip inside
9 could report back to a central part of a system
10 somewhere in the home and begin to tell us how many
11 kilowatt hours per year are being used by the lighting
12 in that home. We would like to work with the California
13 Energy Commission and their contractors in developing
14 this idea as a full throttle approach to a reduction and
15 better use of lighting and energy.

16 So our proposal is simply this. That we work
17 together as this idea develops and as technology lets us
18 to it, so that these products for which it makes sense,
19 be put in the marketplace as rapidly as possible and to
20 achieve two things. One so that we can get a better
21 handle on how much energy we're using and two to begin
22 to see how that energy can be regulated not only for the
23 benefit of energy reduction but also for the benefit of
24 the consumer who still has of course the need to use
25 light because, of course, light is for people.

1 So we're saying this in a sense that we see
2 some ideas for scoping here and for proceeding with
3 these ideas that would have benefits not only for the
4 industry but also for the goals of the Energy
5 Commission.

6 And thank you for the opportunity to present
7 those ideas.

8 MR. UPTON: Thank you, Terry.

9 MS. DAVID: Thank you, Terry.

10 MR. UPTON: How much more time do I got?

11 MS. DAVID: [indiscernible]

12 MR. UPTON: Thank you. A comment was made,
13 and I don't know which speaker was talking about this, a
14 lack by the consumer to embrace CFLs and we had some
15 lousy product in the marketplace to be sure. But I
16 would suggest to you that one of the challenges that
17 we've had is that the consumer thought they were being
18 focused to acquire something that they didn't want to
19 buy or use. And that's not good marketing. And
20 transparency and making sure that we've got everybody in
21 the game is very, very important. Price certainly has
22 its place and that's certainly going to add some
23 discouraging factors in new products as well but we're
24 seeing all kinds of product costs come down.

25 To say to the public that we know better than

1 you and that and we'll tell you how to live your life is
2 never won by anybody and I would just urge you to work
3 with us and find right answers so show that we're
4 delivering to the consumer the product that they want to
5 have and will embrace and think we're all wonderful.
6 Thank you. And I'll be available for anybody who may
7 have a question for us or a discussion of any kind once
8 so ever. Thank you, ma'am.

9 MS. DAVID: Thank you, American Lighting
10 Association. Next is Alex Boesenberg from NEMA.

11 MR. BOESENBERG: Thank you. I am Alex
12 Boesenberg. I am the Manager of Regulatory Affairs for
13 the National Electrical Manufacturers Association. This
14 is my first CEC Stakeholder meeting and I'm very glad to
15 be here.

16 Previously, I served NEMA's members of the
17 lighting systems division as the Manger of Technical
18 Programs. I was doing a lot of the standards writing
19 and things like that, trying to--well not trying, working
20 as creating some of the standards that we heard called
21 for earlier in presentations regarding quality and
22 performance. So, rest assured, we are working on that.
23 My replacement is very good and has taken the baton and
24 is working very hard on it.

25 So I want to, on behalf of NEMA and our

1 members, thank you Madam Commissioner and thank your
2 staff for all of the collaboration that we have
3 increased on and had over the last 4-5 years. We're
4 very happy with the increase of synergy and working
5 together to better standards which increase energy
6 savings. We wanted to point out—I'd like to point out
7 that lighting has long been an industry which is
8 experiencing innovation and progress. Our products
9 continue to innovate, often independent of regulation.
10 Technology being what it is, it marches on.

11 We do have some concerns over some of the
12 efforts, proposals raised but we'll submit that with our
13 public comments. I won't dwell on that here today.

14 One of the things that we have noticed in all
15 of the presentation, not just today but over the last
16 several years, is that everybody has been tracking
17 energy consumption, is that it does look like, at least
18 to me, that the percentage of energy used by lighting is
19 decreasing. It remains a large sector but the efforts
20 that we have already made to-date at product efficiency
21 seem to be having an impact. Even when based on
22 estimates, the number of lighting points are increasing.
23 But I won't dwell on that.

24 I'll sort of echo what ALA had to say. We do
25 feel that components and large components are being run

1 dry and we want to encourage efforts in NEMA's system
2 and solution. Whereby we realize what we believe is a
3 higher potential in energy savings and what I call
4 properly designed, installed, commissioned and
5 maintained systems. But the challenge is significant of
6 how do you address that at the high level. And how do
7 actually pull that off with the consideration for
8 complicity, ease of use and sort of accessibility for
9 the consumers and the people who install and maintain
10 it, life cycle being one of the challenges.

11 I'm going to up the ante on what the ALA
12 called for in terms of working at the Title code level
13 here and remind folks that if they hadn't noticed that
14 just a few weeks ago the Department of Energy released a
15 request for information at the, obviously, federal level
16 which opened up the discussion on lighting systems
17 rulemakings and how we might regulate lighting as a
18 system at what is, arguably, the building level and the
19 building energy usage level.

20 That is a challenge. How to do that right.
21 And one of the understandings that we have with the
22 Department is because the component regulations are
23 already pretty tight and that we have argued that some
24 of them are in diminishing returns, we want the
25 opportunity to focus on the system solution which means

1 that we will be getting them to relax component
2 regulation. It's not going to stay where it is. We're
3 not asking for backsliding but that we've done what
4 we've can so let's look at the new areas where the
5 talent and expertise can be applied.

6 By the talent here, I want to talk about the
7 talent and experience both resident in the Commission
8 and its staff and all the stakeholders. Very
9 knowledgeable and significant resource in experience so
10 we would like your help in tackling this significant
11 challenge of the system solution at the high level and
12 besides the technical challenge itself, there is the
13 challenge of time and resources. For all of us to be
14 working a large number of new or renewed efforts and
15 component levels, takes time away from the system
16 solution and if that really is, as we feel, the
17 opportunity for the highest return, that's where we need
18 to focus. So we ask you for your assistance on that.
19 And I thank you for your time today.

20 MS. DAVID: Thank you, Alex. And welcome to
21 your first meeting at the California Energy Commission.
22 I'll just take this opportunity real quickly to remind
23 everyone that written comments for any of the topics in
24 today's scoping workshop are due on September 30 and
25 speaking for staff, we are always happy to meet with you

1 anytime. We appreciate offers of assistance. We
2 welcome collaboration and any data that you can provide
3 is especially welcome. Thank you.

4 COMMISSIONER DOUGLAS: I don't have any
5 questions. I don't know if any of the advisors do but I
6 appreciate everyone who has spoken on the panel.
7 American Lighting Association and NEMA, it's really
8 helpful to hear your comments in particular. We'll look
9 forward to working with you as we move forward and, of
10 course, we're very committed to working collaboratively
11 with industry and we appreciate the leadership that you
12 have shown. So, thank you.

13 MS. DAVID: Thank you, Commissioner Douglas.
14 We'll take a five minute break and stage for the next
15 panel.

16 [BREAK AT 1:52. WORKSHOP RESUMES AT 2:04]

17 MS. DAVID: Thank you once again, everyone.
18 The next panel will be discussing water using products.
19 Our first speaker will be Noah Horowitz from NRDC.

20 MR. HOROWITZ: Good afternoon, Commissioners,
21 advisors and other stakeholders. My name is Noah
22 Horowitz and I'm a Senior Scientist with the NRDC. I'm
23 pinch-hitting for my two colleagues Ed Osam and Tracy
24 Quinn who couldn't be here today. They're truly our
25 experts on water and energy efficiency related to water

1 using products. I also want to get ahead of people with
2 Noah's Ark jokes are welcome are discouraged at the same
3 time but I know pinch-hitting on water, that's going to
4 be coming. Next slide, please.

5 For the record, that was a veiled attempt at
6 humor and I'll use my time more wisely. There's a whole
7 range of products. The CEC does have the authority to
8 regulate the water use of products and the main reason
9 there is as we move water across the state, energy is
10 used to pump the water up the hills at the water
11 treatment plant, back to the waste water treatment plant
12 and the energy to treat the effluent.

13 So what we're potentially suggesting here is
14 that there's a whole range of products that some
15 standards might exist and that it would merely be the
16 CEC codifying them and making a few minor tweaks, in
17 other cases taking things a step further. So the range
18 of products are traditional toilets for the home,
19 urinals, lavatory faucet and the aerators that go into
20 those faucets which help govern the flow rates of the
21 water, commercial dishwaters, water meters and sprinkler
22 heads. Next slide, please.

23 There's a lot of material here. I apologize.
24 Some of it might be tough to read but everything will be
25 submitted to the docket. We're very confident in what

1 the water savings are in the proposals that follow and,
2 in some cases; we haven't calculated the energy savings.
3 It depends on the modeling assumptions. A few of these
4 savings are purely related to having to move less water
5 around and there's a certain factor and we want to make
6 sure we're doing it right. Embedded energy and how many
7 kilowatt hours does it take to move so many gallons of
8 water and then we'll be able to fill in the table.

9 The water savings are a million gallons a day
10 and the savings are quite significant statewide. Next
11 slide, please.

12 So I'm going to go product by product. Due to
13 AB-Assembly Bill 15 several years ago the state already
14 passed water efficiency for both toilets and urinals.
15 Those are due to go into full effect in roughly two
16 years time. What we're suggesting here is that the CEC
17 formally codify the standards as part of Title 20 so
18 that we have a way to enforce these standards and
19 properly enact them and then there's a couple of clean
20 up things that would need to happen as well and that's
21 provided in the text. But in short, we'd be going from
22 1.6 gallons per flush to 1.28 gallons per flush and a 50
23 percent reduction in the amount of water in our urinals.
24 Next slide, please.

25 So plumbing fittings or the lavatory faucet.

1 Many people may not know this but faucets account for
2 about 15 percent of indoor household water use. And
3 that's more than a trillion gallons of water that are
4 being consumed across the US and we're probably 10-15
5 percent of that given our population here. So the
6 standard would go from 2.2 GPM, or gallons per minute,
7 at a certain pressure rate down to 1.5. And this would
8 go into effect January 1, 2014. And there's also a few
9 types of products where scope isn't sufficiently brought
10 and we have some language that helps close up some of
11 those loopholes.

12 The very encouraging thing here is that
13 there's no known incremental price difference between a
14 product that provides the designed flow rate to the new
15 one. Next slide, please.

16 So commercial dishwashers, this is a product
17 where we both have water savings and direct energy
18 savings as with the proposed standard we would be using
19 less energy to heat up the water and still deliver the
20 same performance. Next slide, please.

21 So what we're proposing is that the CEC
22 consider taking a hard look at Energy Star Version 2 and
23 there's a whole bunch of products that are covered by
24 Energy Star and they're expanding the scope of those
25 products and we think all would make sense for a

1 standard at this level.

2 The next slide is just a breakdown of how many
3 of these units are sold per year. Going forward we
4 fully expect the water utilities and water agencies to
5 also embrace these standards. And they'll be coming
6 forward and we expect them to be submitting favorable
7 comments as well.

8 The next table is a breakdown of what the
9 energy and energy savings would be for these various
10 types of products and what the proposed standard would
11 be. Next slide.

12 These products have energy being used while
13 they're in an idle mode and there's also a test method
14 and proposed standard for those. Next slide.

15 This one was the most interesting to me and
16 caught me by surprise and I want to spend a second to
17 explain it. Most residential homes in California are
18 hooked up to a water meter. These water meters are a
19 great thing. They enable people to be billed directly
20 for the amount of water they use and also send a price
21 signal to conserve.

22 The downside is that these water meters aren't
23 sufficiently sensitive so if there's an ongoing low leak
24 rate, you're not charged for that, even though that
25 could increase dramatically.

1 So we show here what the minimum test flow is
2 for the American Water Works Association and we think
3 that these should be tightened, these meters should be
4 more sensitive otherwise we're not accounting for a lot
5 of unnecessary water use. And I'll give you an example
6 on the next page.

7 Some of the issues are that 20 percent of
8 toilets have an ongoing leak where the seal isn't
9 working or the float isn't doing its job. And about 13
10 percent of water use in the home is due to leaking
11 toilets and dripping faucets. And much of this isn't
12 accounted for in your bill because the meters aren't
13 sensitive enough at very low amounts of water use.

14 So we think here we're very simply requiring a
15 more sensitive meter and having some sort of
16 certification that the meter can detect at those levels
17 of water use and could provide dramatic savings to the
18 state, both in terms of saving water and in terms of
19 reducing people's bills and making our scarce water go a
20 lot further.

21 Next up one of the biggest water uses in
22 particular in homes is landscape irrigation, so outdoor
23 water use. Again, the CEC has the authorization to move
24 forward here. Rotating sprinkler heads have been looked
25 at by some of the Southern California utilities. There

1 are lots of qualifying models out there. One could cut
2 the water use but still deliver the same level of
3 service. Cut it by about 20 percent. We don't have a
4 firm proposal for you today but we encourage this be one
5 of the categories to be considered. And we look forward
6 to working with the Commission and others to develop
7 that.

8 So that concludes, next slide please, so that
9 concludes our initial comments and Ed Osam and Tracy
10 Quinn, my esteemed colleagues would be the ones to
11 follow up with on this. Thank you.

12 MS. DAVID: Thank you, Noah. Next up, Steve
13 Schmidt.

14 MR. SCHMIDT: Hello. My name is Steve
15 Schmidt. My company is High Energy Audits but I'm
16 really here as an independent, a person of concerned
17 with energy efficiency. I've been working on
18 residential energy efficiency for the last 4-5 years
19 down in Silicon Valley and have come across what I think
20 might be the biggest energy hog in single family homes
21 and I just want to make sure that everyone is aware of
22 it because I haven't seen any regulations or anything
23 that's come out about continuous hot water circulation
24 pumps.

25 I apologize, this is my first time at a CEC

1 hearing and I didn't realize there was a ban on cartoon
2 like clipart so I apologize in advance for the funny
3 pictures.

4 Okay. So I'll talk a little bit about my
5 background just briefly, then what are continuous hot
6 water recirc pumps probably everyone knows but I'll go
7 over that quickly, where are they and how many are they
8 and some energy analysis I've done and then some options
9 for mitigation.

10 So I'm a mechanical engineer but have been
11 working in the software industry for many. I was a
12 climate change denier. I hate to admit that but it's
13 true, until about 2005. I became convinced after
14 investigating it a little bit on my own that it really
15 was a problem. So after that I got into my town's
16 environmental committee and spearheaded our greenhouse
17 gas inventory. I live in a purely residential town and
18 it became very clear to us that in order to do anything
19 to reduce our town's greenhouse gas emission that the
20 key lever we had was residential energy and it also
21 turned out that in our turn the average house uses 2-3
22 times the energy of the average California home.

23 Me and another committee member as volunteers
24 starting looking into this, trying to figure out why our
25 houses were using so much energy. Was it the size of

1 the house, was it the number of pools we had. We found
2 out very quickly and from sitting in the presentations
3 this morning I'm preaching to the choir here, but we
4 found out very quickly it's all about plug loads.

5 So since then we have been focusing on how to
6 help people understand the power used by their plug
7 loads and to identify for them simple things that they
8 can do, cost effective, very cheap measures that they
9 can take to significantly reduce their power use. We
10 focused on—the ones that we see over and over again, and
11 the one that we see most frequently is the continuous
12 hot water recirculation pump.

13 I'm also involved in an ECCBG program with a
14 total of five different town in the area and we're
15 helping people understand their energy use by analyzing
16 their SmartMeter data, we're all in PG&E land so we're
17 using SmartMeter data.

18 This is a continuous hot water recirculation
19 pump. I'm sorry for the people who aren't here and are
20 following the webcast, you can't see it but there's a
21 recirc pump running on the podium up here. That
22 particular one draws about 95 watts. These things are
23 hooked up to a loop of plumbing and they're usually
24 found right next to the water heater. There's a couple
25 of pictures there of two we've seen in homes.

1 They're generally installed when the house is
2 built and they run continuously. Many--up to about half
3 of the ones we've encountered have timers on them but
4 just like most of the programmable thermostats in
5 California, they are not programmed. People have--
6 they've gotten out of whack because the power went off
7 or whatever and people turn them off. So they're not
8 timed at all, they're running continuously.

9 We find these things in bigger houses. The
10 way they work, I'm sorry I skipped over that, is that
11 they just circulate the hot water through the pipes
12 continuously. And what happens is as this hot water
13 goes through this loop of pipe and this pipe can be a
14 loop of about 200-300 feet long, the water that comes
15 back on the return trip is much colder than the water
16 that went out. So in addition to the electricity used
17 by the recirc pump, the water heater has to work much
18 harder. So these are in most big homes. We talked to a
19 couple of building inspectors where I'm located and they
20 say 90 percent of the homes built over the past 10 years
21 have these things. They're even in a lot more middle
22 size homes, so quite a few 2,000 square foot homes. One
23 that we had encountered had been running continuously
24 since 1961. That's 50 years. I took the HERS class and
25 as part of the certification we had to go to a house in

1 San Jose and I was amazed to find, in kind of a smaller
2 home, that there was a continuous recirculation pump
3 running in that house. I must say that I'm the only
4 graduate of that program that even noticed that they had
5 one and the homeowner was very excited to find out that
6 by buying a cheap little timer, you could save far more
7 money than doing the duct ceiling or getting a new
8 furnace or any of the other recommendations that we made
9 to him.

10 In terms of the current stock, it's very hard
11 to estimate. Based on the anecdotal information on what
12 I've been seeing is that there's far more hot water
13 recirculation pumps than there are pool pumps and I know
14 the CEC has done some work on pool pumps. Using the
15 numbers, you can see how I derived the numbers. If
16 there's 7 million single family homes in California, the
17 second line down there at the bottom is buildings data
18 book information from the DOE, about 11 percent of those
19 homes across the United States are over 3,000 square
20 feet. About another 7 percent are between 2,500-3,3000
21 square feet. Also, if you just do some rough numbers I
22 came up with 700,000 of these things installed in
23 California. That's just a wild guess. I have yet to
24 see any better information.

25 Than the energy use analysis. So--this is

1 about two years ago—we did detailed testing just to
2 figure out how much energy these things used because I
3 have searched all over the web and I think it was until—
4 I think it was Yanda here has recently published
5 information on multifamily homes. Until that study, I
6 hadn't been able to find anything that talked about the
7 natural gas impact of a hot water recirculation pump.
8 So we actually went out and calculated it, I took some
9 free classes from the PEC, the Pacific Energy Center,
10 and was able to borrow some devices called HOBO loggers
11 which can log when a device is on and log high
12 temperature readings and we were able to come up with
13 some rough guess of how much electricity they use. The
14 electricity is really easy to measure and you can see
15 there that on average it's about 650 kilowatt hours per
16 year. Most of these, I mentioned that most of these
17 things are in slightly bigger houses. So these people
18 are generally in the top tiers or higher PG&E tiers so
19 650 kilowatt hours to them equals about \$250 a year.

20 On the demand side, it's anywhere from 70
21 watts and as I said, this one up there is 95 watts but
22 it's drawing continuously. In terms of natural gas,
23 I'll show you some detailed number but we think that on
24 average, it's about 200 therms per year. And again,
25 that's another \$250 per year so that's a total cost to

1 the homeowner of \$500 a year just to have instant hot
2 water at each of their faucets throughout the day.

3 Now earlier I saw a presentation that talked
4 about game consoles and set top boxes and they showed
5 that 2/3 of the energy used by those devices was when
6 they were not in use. This is far worse. This is using
7 probably 90-95 percent of the energy consumes is when
8 you're not using hot water. It's running all the time.
9 So it's a ridiculous amount of waste. I would use the
10 word egregious, if I may.

11 If you look at the 700,000 number that I kind
12 of came up with and you multiply it by this amount of
13 energy use on a per unit basis, you come up with some
14 tremendously large numbers in terms of potentially how
15 much energy these things are using. So the numbers are
16 450 gigawatt hours in California plus 150 megatherms,
17 milliontherms. If you combine that you have to convert
18 units, if you combine that into kilowatt hours, you wind
19 up with 4,000 gigawatt hours. And I was very happy to
20 see that this number was bigger than the number
21 mentioned earlier for the biggest plug load which was
22 computers and I think that was 2,500 gigawatt hours. So
23 this is a huge amount of electricity.

24 MS. DAVID: Two minute warning, Steve.

25 MR. SCHMIDT: Pardon me? Two minutes. Okay.

1 So I'm just mentioning here down at the bottom is
2 Yanda's work and this is the only data that I've seen
3 that is only close. He'll talk about it later but I
4 don't think he's going to talk about recirc pumps but it
5 was fairly close with what I came up with. This is a
6 slide from Yanda's presentation where he said in
7 multifamily homes, the recirculation loop loss
8 represents 34 percent of the total hot water used and
9 the other numbers are highlighted there were fairly
10 close with what I came up with. His 800 therms per year
11 is bigger than mine but that makes sense because it's a
12 multifamily housing. The way that we calculated the
13 data was that this top draft shows when the
14 recirculation pump is on and when it is off, over here.
15 And then you see here, down below, the spikes indicate
16 when the water heater came on and you can integrate
17 across these peaks how many therms per year this would
18 work out to. So when the recirculation pump is on you
19 see lots of spikes, when it's turned off during the
20 experiment, you see far fewer spikes. And that
21 difference works out to be from 241 therms to 102
22 therms, quite a drop in energy use.

23 And this is another example, the first example
24 was a 2,000 square foot house. The bigger the house the
25 longer the loop of piping, the larger the waste. So in

1 this case, we started out with the pump being off for a
2 week. You see how often the water heater comes on, when
3 the pump is on for the next week, you see this water
4 heater coming on constantly. Here's the difference of
5 393 therms down to 150. This next house is a 6,000
6 square foot house. If you look at the difference here,
7 this is a difference of 400 therms. That's a tremendous
8 amount of energy. And it's all based on this
9 recirculation pump. I'm almost done, I think.

10 In terms of mitigation options. What we've
11 been focusing on in our work with residential energy
12 efficiency is the low hanging fruit, the stuff that's
13 really easy to mitigate. So in this case, I don't know
14 anything else at all about regulation. So I don't know
15 how you'd regulate this for new homes. I'm not working
16 on new homes. I'm working on existing homes. For
17 existing homes, there's three simple things that
18 homeowners do.

19 First, we tell them how much it's costing them
20 to run that thing. Unplug. Unplug it for a week and
21 see if you notice a difference. Homeowners don't notice
22 any difference. First, they didn't know they had it.
23 Second, it wasn't really doing much.

24 Second option is to add a cheap digital timer,
25 a \$25 timer that has a battery backup. You never have

1 to reset it. You can get it from Amazon or anybody else
2 and attach it and it cuts down the energy used
3 tremendously.

4 Finally, you can replace it with an on demand
5 model. The one that I've shown up there is the chili
6 pepper. It's less than \$200 and you can install it
7 yourself. You can have a handyman to install it. It's
8 an on demand version that uses far less energy.

9 The other good news about continuous hot water
10 recirc pumps is that they're very easy to spot. As I
11 mentioned, we're doing analysis of home's energy use
12 based on SmartMeter data. If you look at a home's gas
13 energy use, you see that during the middle of the summer
14 that they're spending more than \$40 a month, dollars to
15 donuts, they've got a hot water recirculation pump and
16 it's very easy for a utility to spot this or anybody
17 that does energy analysis. And you could have a program
18 specifically targeted at these people with those three
19 options of what they can do to cut down their energy
20 use. That's all I have. Thanks very much.

21 MS. DAVID: Thank you, Steve. And speaking of
22 PG&E, up next is Gary Fernstrom.

23 MR. FERNSTROM: Hello everyone.
24 Commissioners, staff, interested parties. It's a
25 privilege to be here again to talk about energy

1 efficiency opportunities because there are so many of
2 them that can be had for so little cost. My affiliation
3 now is more complicated than it used to be. I'm retired
4 from PG&E; I'm a part-time employee of PG&E now. I'm
5 also doing some work for Sempra Utilities so what I have
6 to have to present reflects those individuals'
7 stakeholders as part of the IOUs presentation.

8 Before I get into the specifics, I'd kind of
9 like to make an observation stemming from what I've
10 learned after having done this sort of work a longtime
11 with a few folks. I see a number of stakeholders here
12 today saying that regulation isn't really necessary. It
13 limits people's freedom and flexibility of features and
14 products. And the free market does fine but itself.

15 The utilities when they come to advocate for
16 efficiency improvement aren't trying to take anything
17 away. They're not trying to take any utility, any
18 features. They're just trying to provide the same
19 benefits more efficiently at lower costs to consumers
20 and less energy use and environmental degradation for
21 society.

22 The IOUs also offer incentive programs. So
23 it's a combination of polling the market, trying to
24 encourage for those early adopters more efficient
25 equipment and bringing up the bottom. Trying to

1 discourage the very least efficient on the market. So I
2 think that everybody is better served by a balanced
3 approach. The IOUs certainly present a balanced
4 approach but I see many of the speakers saying, "No, no,
5 no. No regulation." And I really think that we should
6 consider the fact that both have their place and both
7 are effective.

8 To give you an example, the CEC adopted a
9 portable electric spa regulation. The energy use for
10 spas for essentially the same volume of water and
11 utility ranged from a 4:1 ratio. The worst spa used
12 four times the electricity of the most efficient one.
13 So to kind of shave a little off the bottom, it's not a
14 bad thing and regulation was the best way to do it. So
15 there are some industry cases where regulation makes
16 sense.

17 Okay. So to get to the meat of my
18 presentation, I'd like to talk about commercial clothes
19 washers. And, if I can figure out how to use this
20 thing, we'll do that.

21 MR. STRAIT: You're in PowerPoint currently
22 and it should operate just like a normal mouse. If you
23 want to advance to a specific slide.

24 MR. FERNSTROM: That's great. I've got it
25 now. I was just scrolling the mouse the wrong

1 direction. Thank you. Okay. So to talk about clothes
2 washers, commercial clothes washers. They represent a
3 significant energy use as you can see from the slide,
4 both in terms of direct use of electricity and water
5 consisting of the local heating energy requirement to
6 heat the water. The embedded energy in the water to
7 bring it to the location and the waste water treatment
8 and disposal.

9 Commercial equipment isn't as well know as
10 residential clothes washing equipment and this proposal
11 would essentially take a look at the idling energy use
12 of clothes washer equipment—pardon me, dishwasher
13 equipment, thank you Yanda, and set the maximum waster
14 consumption limits by machine type and temperature. We
15 think that there's a big energy saving opportunity there
16 and would like to draw the Commission's attention to
17 considering that.

18 I'm going to move relatively quickly through
19 these things so hopefully we can get a little ahead of
20 schedule here.

21 In terms of irrigation equipment, many homes
22 and certainly a lot of homeowner's associations,
23 multifamily dwellings, commercial real estate properties
24 have garden areas and irrigation controls or sprinkler
25 controllers. This is estimated to be 5 million. The

1 CEC looked at this a little while back and, I think in a
2 sense, got distracted by pretty complicated
3 opportunities to save energy that would be instruments
4 that measure installation from the sun, instruments that
5 measure the moisture content of the soil. There's some
6 low hanging fruit here that would be easy to get to
7 through potential energy regulations and that would be
8 the standby electric use of the equipment itself. It's
9 typically powered by a magnetic transformer that is
10 relatively wasteful in terms of its electric energy use.
11 And by a simple rain monitor that will not let the
12 sprinklers come on when it's raining.

13 Certainly, I've seen irrigation systems
14 running when it's raining and it's because whoever is
15 managing the system hasn't gotten a chance to get out
16 there and shut it off for the winter. So those two
17 simple measures we think are worthy of consideration and
18 would not cost much and would save water and electric
19 energy.

20 I'd like to call your attention to plumbing
21 products. According to the Department of Energy, over
22 60 percent of industrial motor system energy consumption
23 involves pumping or fluid handling of various different
24 kinds of fluid. Those fluids go through pipe. And the
25 pumping power and energy required to move those fluids

1 is a function of the diameter, size, length, quality of
2 the pipe through which it flows. Engineers, when
3 they're designing pumping systems, use engineering
4 specifications that tell you how much friction loss
5 there is in the pipe or how much power and energy it's
6 going to take to move the fluid through the pipe.

7 The problem is that these friction numbers-
8 specifications are based on a mathematical formula and
9 according to the Department of Energy are not very
10 indicative of what the actual performance of these
11 fittings is. The consequence is over design, the
12 engineer has to assume the worst case, the fittings may
13 work better. So you wind up with a pump that's bigger
14 than you need and wasted energy.

15 TO give you an example of that, the CEC
16 adopted in Title 24 Building Code for Residential
17 Swimming Pools and one of the recommendations was to use
18 sweep elbows instead of, as shown here, the tight 90
19 degree elbow and someone from the swimming pool industry
20 pointed out that some of the type 90 degree radius
21 elbows were better than the sweep elbows. I was
22 astonished to learn that and, as a consequence, the
23 regulation in the building code now specifies the
24 geometry of the elbow in order to get good performance.
25 So while we don't have the details we think that there's

1 an opportunity through better design and smaller pump
2 sizing to save energy if better specifications were
3 available for these types of pipe fixtures.

4 So that concludes my presentation on water.

5 MS. DAVID: Thank you, Gary. There's one more
6 gentleman at the table next to you. The last speaker.

7 MR. ZHANG: My name is Yanda. I'm going to
8 present the commercial clothes dryer topic.

9 MS. DAVID: Okay. The next panel. Great,
10 thank you.

11 MR. FERNSTROM: So it looks like I'm up again
12 for luminous signs.

13 MS. DAVID: We're going to take a short break.
14 We're going to change moderators and make sure everyone
15 for our next panel is here at the table.

16 MR. FERNSTROM: Well, you were doing just
17 fine. You can stay.

18 [LAUGHTER]

19 MS. DAVID: We collaborate here.

20 [WORKSHOPS BREAKS FOR 5 MINUTES AND RESUMES AT 2:41]

21 MR. RIDER: All right, ladies and gentlemen.
22 We're going to try to reconvene and get moving on the
23 other appliances panel. We have a first speaker, who is
24 Gary Fernstrom with PG&E and also, probably generically,
25 representing the IOUs. So, if you could Gary, go ahead

1 and go into that plug in luminous signs that you were so
2 eager to go into a moment ago.

3 MR. FERNSTROM: Okay. Thank you so much.
4 Plug in luminous signs are pervasive. You see them in a
5 lot of small stores. They're typically Open for
6 Business signs or, my favorite, various brands of beer
7 signs. And they come in three or four different
8 configurations with respect to appearance, function and
9 energy use. Some of these signs are powered or lighted
10 by incandescent lamps, many by fluorescent lamps, some
11 are neon or cold cathode lamps and now increasingly you
12 see lighted in diode signs.

13 There's an example on the screen of what I'm
14 talking about. The luminous efficacy of these different
15 light sources varies with fluorescent and LED being
16 better than incandescent for sure and often better than
17 neon. The efficiency of the power supplies or
18 transformers that run these signs vary as well too.

19 Neon transformers, magnetic transformers are
20 notoriously inefficient, excuse me. Some neon signs
21 have electronic transformers which are better but the
22 very best without favoring any individual technology and
23 get looking at performance are LED signs now because
24 their power supplies are efficient. And the LEDs are
25 quite efficacious as light sources. They can have an

1 appearance that looks exactly like their neon
2 equivalent.

3 So we're advocating for better performance for
4 these signs as the state appliance efficiency standard
5 and as you can see from the numbers we think that a
6 substantial amount of energy can be saved for a
7 relatively low avoided cost. The LED signs are getting
8 now down to the point where they're equally expensive or
9 less expensive than their neon counterparts.

10 Yanda Zhang is going to talk about commercial
11 clothes dryers for us.

12 MR. ZHANG: Good afternoon. My name is Yanda
13 Zhang with Heschong Mahone Group. This proposal is
14 regarding commercial clothes dryers. The project was
15 sponsored (inaudible) proposals of various interesting
16 natural gas savings.

17 First of all, commercial dryers just like
18 clothes washers are widely used in multifamily
19 buildings, in laundry mats and on premises locations
20 such as hotels, motels, nursing homes and university
21 dormitories.

22 I've listed here the many energy savings for
23 both electricity and gas. As you can see, most of the
24 energy will be consumer on the natural gas side since
25 most of them are natural gas driven.

1 In contrast we already have a DOE standard,
2 test standard, as a performance standard for residential
3 clothes dryers which energy efficiency is measured by a
4 few factors basically indicating how many pounds of
5 clothes can be dried in each kWh energy input.

6 For commercial dryers we don't have any
7 standard or test standard as well. So what we have done
8 is collaborated with UC Davis and the mechanic
9 engineering department and have done very extensive test
10 studies basically trying to adapt basic DOE standards
11 for residential dryers for commercial dryers as well as
12 getting energy performance statistics so the study has
13 been finished. And the study has also been communicated
14 with all major manufacturers. So at this stage I think,
15 can you go to the next slide, please?

16 So based on the data, what we're seeing is
17 that clothes dryers, the cost while the same in a sense
18 is that they're not correlated with their deficiency
19 performance. But in general clothes dryers are 10-20
20 percent less efficient than their residential
21 counterpart and we don't know why exactly. We think
22 mostly because they are one, probably not regulated.
23 Also because commercial applications, they're driven to
24 get clothes dryer much faster so they tend to use larger
25 burners.

1 With the test study results, what we propose
2 is to adopt a test standard for commercial clothes
3 dryers which will be consistent with existing DOE test
4 standards for residential dryers. We think of this as
5 very straightforward as this study already demonstrates
6 that this test method is feasible for commercial dryers
7 as well. And we'd also like to propose that Title 20
8 begin to require manufacturers to submit test data so
9 essentially a list of requirements of manufacturers.

10 We'd also like to propose based on our test
11 results, a performance standard that is reflecting the
12 best performance, best dryers in the market and we think
13 it's feasible because we say that residential dryers are
14 pretty much, very similar dryers physically. You can
15 achieve 20 percent higher performance. There's no
16 reason that we couldn't establish a performance standard
17 which is much lower.

18 In long term, we say that Title 24 should,
19 strategically, drive commercial dryers to achieve
20 similar performance as residential dryers that you see
21 10-20 percent energy reduction which is substantial.

22 Another two features we'd also like the
23 Commission to consider is automatic termination control
24 and cool downs. Those are two, in a sense special
25 features, used at the end of the drying cycles to stop

1 the gas firing so that the dryers can be one, when the
2 clothes are dried enough, the machine will stop
3 automatically and two, if the clothes dryer to some
4 degree instead of using gas energy, it was stopped,
5 using the residual heat in the dryer to get the rest of
6 the moisture out.

7 These are mature technologies and are
8 implemented widely and, if not all, in the residential
9 dryers but commercial applications as we've talked about
10 perhaps there are manufacturer application issues but we
11 think that they can be resolved. We think that our
12 proposal should also include that, at least an
13 encouragement, of using these features for commercial
14 dryers.

15 So next step, in regarding this project we
16 have all the data and test results. We have
17 communication with manufacturers and once we sort out
18 the rulemaking schedule, I think we're ready to discuss
19 with manufacturers together to see what we can finalize
20 in the proposal.

21 I'd also like to add, this time it's not on
22 the agenda, but in parallel we also studied commercial
23 convection ovens. This is a kind of cooking equipment
24 that is widely used in restaurants.

25 Utilities have been running (inaudible) for

1 many years. We have both PG&E and Sempra running labs,
2 testing those increments and just about a year or two
3 years ago, DOE—not DOE, the EPA adopted a pretty much
4 the California Efficiency Program criteria as Energy
5 Star criteria so it's a really good history when you see
6 California programs go into Energy Star programs.

7 We think that it's also matured now to take it
8 from Energy Star program, as we did for other appliance
9 standards, back into—not back into but into Title 20
10 regulations so that we can see the utility program move
11 to the next stage. We don't have complete data so that
12 I can include here but I would like to propose that as
13 well. Thanks.

14 MR. RIDER: All right. I guess that concludes
15 the appliances panel. So we can move onto the public
16 comment, unless you had any questions.

17 MR. FERNSTROM: We have a few more topics.

18 MR. RIDER: Oh, well then. Back to you, Gary.

19 MR. FERNSTROM: I'll be quick, I promise.

20 MR. RIDER: I didn't realize.

21 MR. FERNSTROM: I wanted to talk about
22 commercial refrigeration condensing units. These are
23 found supporting grocery stores, small convenience
24 stores. The issue with commercial refrigeration system
25 and this type of package condensing unit is that the

1 energy efficiency performance are not very well tested
2 or known at different load conditions that would be
3 different circumstances of outside temperature versus
4 the incase temperature inside.

5 In order to even discover what the energy
6 efficiency opportunity is, we'd like to have better
7 information on what this efficiency is at different load
8 conditions. We're proposing testing and reporting of
9 this perimeter for fixed output units as well as
10 variable output units so we'll be able to understand how
11 they perform at different points at their load curve.

12 And from that information, it will be possible
13 to make energy efficiency improvement recommendations
14 and to differentiate between equipment with respect to
15 how they perform in the California climate and different
16 climate zones. So that's the essence of the proposal
17 for refrigeration condensing units.

18 Pretty much all heating and air conditioning
19 systems have air filters. To be honest, I was surprised
20 by this one. Of course, like everyone else, I have a
21 furnace filter in my furnace. I didn't actually realize
22 that their performance was specified in terms of how
23 much resistance they present in terms of the flow of air
24 through the heating and cooling system.

25 I really didn't know that there was a Title 24

1 requirement either. So this proposal would recommend
2 marking on these products so consumers can tell the
3 difference between them, when they purchase them, and
4 purchase ones that work the best for them in
5 consideration of the money that they're spending for
6 them.

7 There's a pretty significant energy savings
8 associated with this because as the resistance to air
9 flow decreases, I might add, without compromising the
10 filtration efficacy of the filter it requires less power
11 and energy to move that air and savings are possible.

12 What's proposed here is adopting for
13 California an AHRI existing testing procedure to use for
14 customer information.

15 One of my favorite topics is residential
16 swimming pools. California adopted in 2006, a
17 regulation having to do with swimming pool pumps,
18 swimming pool motors, replacement motors and
19 controllers. During that time, the industry has really
20 embraced the whole idea of swimming pool energy
21 efficiency; I'd pretty much consider it a revolution in
22 attitude because virtually everything you see in the
23 industry now is focused on efficiency.

24 But the technology was moved beyond where the
25 regulations were at that point that they were brought

1 into being. For example, California has a prescriptive
2 requirement for pool pump motor motors that require that
3 they be high efficiency motors, not cap start, induction
4 start standard efficiency motors. When that regulation
5 was put into place, the motor industry, the pump motor
6 industry, really wanted a performance based regulation
7 rather than a prescriptive design based regulation. But
8 the information didn't exist at the time to determine
9 what the standard level ought to be.

10 Since then, variable speed motors have come
11 into the mix. And, I believe, the industry would be
12 supportive and, certainly, the IOUs are supportive of
13 working on changing the prescriptive motor regulation to
14 a performance based regulation. And requiring the
15 testing, reporting and listing of those products.

16 So even though there is a design regulation in
17 place, motor manufacturers are not asked to report the
18 design or any other information about their replacement
19 motors and the whole market would be served if that
20 information was reported and was publicly available.

21 The same thing with controllers. Pool pump
22 controllers, while they are subject to some regulation,
23 are not reported or listed either. So it's difficult to
24 find which of these products are truly compliant with
25 the regulations unless you do an individual comparison

1 between the two.

2 There's yet another opportunity with the
3 swimming pool business and that is swimming pool
4 heaters. There are about 1.5 million residential
5 swimming pools in the state which if they were operating
6 coincidentally, all at the same time, would draw the
7 output of 6 500 kw power plants.

8 The heaters, about 60 percent of these pools,
9 roughly 900,000 pools, have usually natural gas heaters
10 plumbed in the plumbing system all the time. So
11 whenever the pump is operating, whether the heater is
12 firing or heating or not, the water is being forced
13 through the heater.

14 The building regulation could require a bypass
15 valve which we think is a good idea. However, changing
16 the building regulation would only address the issue in
17 new swimming pool construction. An alternative way to
18 address the opportunity is to look at the resistance to
19 the flow of water that these heaters present for all
20 products and establish a regulation that would require a
21 maximum or establish a maximum resistance to the flow of
22 water that these heaters could impose on the pumping
23 system. That would save substantial power and energy.

24 Last week I measured one of these heaters.
25 It's probably typical. And I found that the resistance

1 to the flow of water under all flow conditions was 16
2 feet. So all the time the filtration circulation pump
3 was pumping, all the hours in the year, it was in effect
4 raising the water 16 feet vertically just to get it
5 through the heater. And when the heater's not working,
6 it doesn't seem reasonable that it should present that
7 much resistance to the flow of water. That could be
8 fixed by drilling a little bit bigger orifice plate in
9 the outlet of the heat exchanger and providing a little
10 weaker spring in the bypass regulating valve so the cost
11 of fixing this, I believe, would be miniscule.

12 So we'll be proposing a regulation that would
13 reduce the electric pumping power and energy needed
14 associated with these heaters. And when consumers are
15 using variable speed pumps they can turn their pumps
16 down and take advantage of that energy savings.

17 As I mentioned earlier, California has already
18 adopted a portable electric spa regulation. It's
19 difficult, for consumers to compare the performance of
20 spas when they go to buy them at retail because the last
21 thing the spa dealer is probably going to talk about is
22 how much this is going to cost you every month. The
23 average is about \$60 bucks a month, by the way, for
24 those people who have spas.

25 This proposal would ask the CEC to implement a

1 marking requirement on not just spas but other products
2 so that consumers would have at the point of sale more
3 information about the comparative performance of
4 products in order to make better educated decisions
5 about how they want to trade off energy efficiency
6 versus other features in terms of the price they're
7 paying.

8 So there's generally an opportunity across the
9 board for us to improve marking and consumer education
10 so that consumers can make better choices. Thank you.
11 That concludes my presentation.

12 MR. RIDER: Very good. I think that also
13 concludes the miscellaneous or other appliances panel.
14 So we can move onto the public comment period.

15 So I think we'll start with people in the
16 room.

17 MR. LEAON: And, once again, if you'd like to
18 make a public comment, if you could please fill out the
19 blue cards which are available on the back table and
20 bring those forward and we will call on you for public
21 comment.

22 MR. RIDER: All right, well I'm going to—we've
23 got some blue cards here so I'll call Tony Brunello —

24 MR. FERNSTROM: Ken, I forgot one last slide.

25 MR. RIDER: Okay. Well, can we pull that back

1 up real quick before we get into the comment period.

2 MR. FERNSTROM: I promise that I won't take

3 more than two minutes.

4 MR. RIDER: That's all right. We're on

5 schedule now.

6 MR. FERNSTROM: I hope to get us on schedule

7 here.

8 MR. STRAIT: Do you know where it was in the

9 presentation?

10 MR. FERNSTROM: The very last slide in the

11 presentation.

12 MR. RIDER: The big warm thank you for

13 everybody.

14 MR. FERNSTROM: Okay. So I had wanted to talk

15 about power factor, EPRI is and others, are part of the

16 PIER program as you know are looking at power factor.

17 It would be the utilities intention to try and advocate

18 with the CEC for a consistent policy on how power factor

19 is treated. And as EPRI talked about the energy loss

20 reduction opportunity associated with improving the

21 power factor, they talked about it in terms of the

22 circuit length. But actually the power factor losses go

23 beyond the customer's meter into the utility's

24 distribution system. So there is an energy saving

25 opportunity, both on the customer and on the utility,

1 side of the meter. And we'd like to work with the PIER
2 program and the consultants performing that research as
3 well as the rulemaking portion of the CEC to bring about
4 a consistent and productive policy for how we deal with
5 power factor. Thank you.

6 COMMISSIONER DOUGLAS: All right. Thank you.
7 We'll go on to public comment now. Tony Brunello, are
8 you in the room? Tony, we saw him earlier today. Tony,
9 if you'd come back we'll call you up again. Elton
10 Sherwin.

11 MR. SHERWIN: I'm Elton Sherwin, I'm the
12 author of "Addicted to Energy" and I'm on the Board of
13 Directors for five California based companies, three of
14 which are semiconductor companies and collectively they
15 ship millions of chips into the consumer products that
16 we've been talking about today - PCs, DVRs and various
17 other ones.

18 I wanted to comment and say that I thought the
19 NRDC straw man proposals all seemed reasonable. They
20 passed the sniff test and, in particular, I think the 5
21 watts standby requirement is a very reasonable
22 requirement given that many consumer products today use
23 less than a half watt of standby so the 5 watt standby
24 rule would be 10 times and, in some instances, 50 times
25 much power as some off the shelf consumer products. It

1 is not possible for the homeowner to eliminate the
2 standby power on DVRs. You can't put them on timers,
3 you can't disconnect them. They have to be connected
4 and they draw 40 watts and some of you may also have
5 friends who have three HD TVs and two guest rooms and
6 collectively they may have five or more of these devices
7 installed. There's really no way to get around using
8 them. So I think the 5 watt standby power is very
9 reasonable.

10 A couple of things that weren't talked about
11 today, that I'd like to add for your consideration, one
12 is what may be considered automatic day-lighting and
13 that is requiring the commercial lighting fixtures to
14 automatically dim when there is light present.

15 This is a very clever regulation. Not a very
16 particularly complex one but requires you to use a
17 digital ballast and various controls. So when you walk
18 around, through the State of California, one of the most
19 striking things is looking at these great, new high
20 efficiency T5s and T8s on bright right next to a window
21 with the California sun streaming in. Everywhere in the
22 state, we ought to just require that the light fixtures
23 not do that.

24 I love the idea of labeling things. I think
25 that's a marvelous idea. I think that there's some

1 things that are so egregiously bad that they should be
2 banned or effectively banned. Obviously an extremely
3 inefficient air filter for a furnace falls into the
4 category of things that make no sense for that to be
5 legal in the State of California. Just not at all. I
6 mean, there are a lot of things that should be labeled
7 but to allow someone to innocently walk into an Ace
8 Hardware store and buy a filter that's \$.05 less
9 expensive and then use dollars more electricity, I don't
10 get why we're compelling social need to serve by
11 allowing that to continue.

12 I guess the one last thing that I would say is
13 and has not been discussed today is we're the internet
14 and semiconductor capital of the world. The laws that
15 we pass get mimicked everywhere else. Many consumer
16 product companies who manufacturer in Asia, once we
17 require it is so inexpensive to do, they just ship the
18 product worldwide, relatively few instances where people
19 have said, "Oh my goodness. California laws are so
20 stringent. We're going to build a product for
21 California and then we'll ship a less efficient one to
22 Nevada and the other states."

23 When those more efficient products have to be
24 designed, they're frequently designed here. The chips
25 are designed here and if there's internet connectivity

1 required, that's often worked on here. So in terms of
2 generating California jobs, I think there's been a
3 subtheme by some of the companies that increasing
4 efficiency hurts California jobs. My experience has
5 been exactly the opposite.

6 Efficiency benefits California workers because
7 when the world needs to be more efficient, they look to
8 our products and our services and our teams to redesign
9 the products and the core semiconductors. So I would
10 just encourage the CEC to not fall victim to the thought
11 that this might hurt California labor. I think that
12 there's very few examples where one could point to where
13 California increasing efficiency has hurt California
14 jobs. I think all the evidence and recent reports show
15 us that, not only as we've tightened efficiency does it
16 help the whole world, it's helped the California worker.
17 Thanks.

18 COMMISSIONER DOUGLAS: Thank you. Thanks for
19 your comments. Thanks for being here. Is Gary
20 Fernstrom? Do you have comments? Oh, you've had a
21 number of comments. Would you like to make a public
22 comment?

23 MR. FERNSTROM: I wanted to make one public
24 comment on behalf of the IOUs and I was responding to
25 Terry McGowan's comments on behalf of the ALA.

1 If I understood him right, he suggested that
2 regulations were looking at the power of portable
3 lighting equipment rather than the time, essentially
4 overlooking the control opportunity for dimming or
5 reducing the utilization in contrast to just reducing
6 the power.

7 Actually, the compromise that we worked out
8 last time was the inclusion of a CFL instead of an
9 incandescent lamp with the product. Prior to the
10 regulation there was no lamp included. So by including
11 a CFL, we're just giving the consumer the opportunity to
12 use it instead of going out and buying another lamp.

13 And that is an efficacy driven regulation. It
14 has to deal with how much light you're getting for the
15 power and energy, so the regulatory direction to limit
16 the power or to make lamps dimmer or to create consumer
17 dissatisfaction. It's simply has to do with providing
18 the same or better lighting for less power and energy.

19 COMMISSIONER DOUGLAS: Thank you. Thank you
20 for that comment. Bernio Rosco, California Cable and
21 Telecommunications Association. Welcome.

22 MR. ROSCO: Good afternoon, Commissioners and
23 staff. Bernio Rosco on behalf of the California Cable
24 and Telecommunications Association. We represent the
25 cable industry here in California.

1 My point is very brief. It's just the
2 adoption of state specific technical standards for set
3 top boxes is inconsistent with the federal standards and
4 expressly prohibited by the communications act. It's
5 just not a debatable issue. Not to say that it's not a
6 worth issue. I think I want to associate my comments
7 with the very first panel talking about the national
8 level of activity that's going on there and the
9 encouragement that California participate at FCC or
10 other federal agencies to work on these issues. And
11 that's it. Thank you.

12 COMMISSIONER DOUGLAS: All right. I've got
13 two cards from Intel. I've got Henry Wong and James
14 Cardoch. Go ahead.

15 MR. WONG: Hi. I just want to go ahead and
16 point out two items. Hopefully to help clarify part of
17 the presentation from ITI. My colleague will talk about
18 some of the Intel items.

19 One is we highly recommend a holistic approach
20 to energy efficiency and these are not just words. In
21 particular, associated with some of the foils that we
22 were only briefly able to review.

23 On the computer side, it's really at a system
24 level. Component level assessments tend to drive
25 incorrect behavior. As evidenced with the crying babe

1 diagram.

2 Secondly, on servers, it's not the servers as
3 evidenced with the Department of Water Resources. It's
4 the data center. If we optimize the data center, we
5 improve the footprint. We optimize the server, we may
6 not get there.

7 Finally, on the holistic approach is to make
8 sure that we understand the unintended consequences.
9 Data centers and servers, as well as computer products,
10 are critical to the function of our society. And a lot
11 of the activities we do, it would be a shame for you not
12 to go ahead and get money from the ATM or make a
13 financial transaction just because there was a rule or
14 regulation that you have to shut down the servers every
15 night so that you can't get access to your money. It
16 doesn't make any sense.

17 The next big point was this call for
18 engagement with the industry, as I pointed out and as
19 available in the foil deck, is that the industry along
20 with the end user, and that's really important, are
21 already engaged in a lot of energy efficiency
22 activities. We wholly recommend the Commission and its
23 researchers to participate in those activities. A lot
24 of those misconceptions can be resolved there,
25 especially for some of those technical issues such as

1 security, reliability and some of the quotes associated
2 with utilization are not necessarily the only item in
3 the data center and so forth. So we have to go ahead and
4 look at the operations of the whole to make sure that
5 not only are we addressing the energy consumption but
6 also the primary functions of these devices. Thank you.

7 COMMISSIONER DOUGLAS: Thank you, Mr. Wong. I
8 almost feel compelled to clarify for the record that we
9 have not, will not, do not propose to shut down ATM
10 machines at nighttime.

11 [LAUGHTER]

12 If James Cardoch could come forward.

13 MR. CARDOCH: Yeah. Hi. I'm Jim Cardoch.
14 I'm an Engineer with Intel Corporation. I've been doing
15 it 25 years and have been working on low power
16 technologies. I probably have around 100 plus patents
17 in the area of low power technology development. I do
18 work on energy regulations and I just wanted to make a
19 couple of comments.

20 Again, more primarily than the ITI section,
21 just based on some of the things that I've seen and
22 heard today, one of the things that sometimes when we
23 regulate we lose focus of the goal. And I see this a
24 lot. In the computer space, we regulate energy. It's
25 important not to miss that we're trying to do things to

1 lower the energy. And some of the silly things that
2 I've seen, and I really tie this back to the Energy Star
3 program, and I'll give examples because I don't want
4 some of this repeated.

5 Back when they were doing Energy Star version
6 4, they wanted the hard disk drives to be spinning. So
7 on computer systems, if you buy an Energy Star system
8 back then, hard drives had to be spinning. Even though
9 for the past 20 years, we had been spinning it down to
10 save power in the system. And then when that came up
11 again for Energy Star version 5, again they wanted the
12 hard drive spinning. In this upcoming one, I hope
13 that's not the case. In this case, what I would say is
14 that if you're regulating the energy, don't tell the
15 industry or the person doing it, how to hit that energy.
16 Give them that freedom to do it and delight the end
17 user, provide a good experience.

18 Power supply is another example. We talked
19 about power factor correction. I think that's a very
20 good thing. But once you regulate power factor
21 correction and you're already telling me to hit the
22 energy limit and then you blow it, why are you going to
23 tell me to come back and go from a bronze power supply
24 to a silver to platinum and I guess in some 20 years if
25 we continue this it'll be a diamond power supply.

1 I have to hit a certain yearly energy limit.
2 Why do I have to put in an exotic power supply to hit
3 that if I can hit that in a much lower cost, better way
4 of doing it. And so, regulation to a certain point is
5 okay but in many cases we go too far. Because power
6 supply is such an easy target, it's easy to come back
7 and say, "Well, it's 89 percent efficient. Let's make
8 it 93, 97 percent efficient." But you still have to hit
9 those 35 kWh per year limit. So all you end up with is
10 a lot of devices—there's a lot of PCs and devices out
11 there today that have much lower energy footprints than
12 Energy Star devices. They're lower cost but they don't
13 have that exotic power supply. The goal here, again, is
14 to lower energy. Keep your eye on that.

15 The other thing is that we're running into a
16 lot of issues where people do copy the Energy Star
17 program for these mandatory regulations. We see it in
18 Europe, in China and Australia. It's not just a good—
19 it's a voluntary program, Energy Star. It targets the
20 top 25 percent performers. It's a wonderful thing, to
21 put a sticker on it that says Best in Class. That's
22 good. And it doesn't target the entire market. So
23 right now, we're dealing with Europeans taking the
24 Energy Star version 5 and saying let's make this
25 mandatory. Well, now we have mobile workstations that

1 aren't described under Energy Star version 5 but as a
2 voluntary program, it doesn't matter. But now it's a
3 mandatory program. If they'd just adopt that, you can
4 ship those systems into that economy anymore because
5 they weren't described in Energy Star so there were no
6 limits or ways of describing them. One of the things
7 that I advise if you're looking at a mandatory
8 requirement, it's very desirable to come back and look
9 at Energy Star and what they did but it's a voluntary
10 program and it's not intended for market access type of
11 regulations.

12 The other thing is that I heard someone talk
13 about MPEG 4 and as an example is one of the things that
14 we don't want to do when we trade regulations is to stop
15 innovation.

16 I thought that was a perfect example because
17 MPEG 4 is a compression technology for video and it
18 produces beautiful video at very low data rates and
19 allows us to transfer it around satellites and gives
20 this wonderful digital picture. Now if we had very
21 strict energy requirements, would MPEG 4 would have been
22 able to ship in the market. And what I mean by this is
23 when MPEG 4 came out, it needed a workstation class
24 machine to be able to decode that video. Five, ten
25 years later, I'm able to play MPEG 4 video on my

1 cellphone and so technology scales.

2 Henry showed Moore's Law, it shows how we're
3 able to drop the power of a transistor every 18 months
4 by half and be able to increase the number of
5 transistors, doubling every 18 months and increasing the
6 performance every 18 months. Technology scales.

7 What you don't want to do is put in a
8 regulation that stops that innovation scaling.
9 Sometimes I want to introduce a new feature, it's going
10 to cost more power but if you give it more time. It's
11 going to become more energy efficient. Thank you.

12 COMMISSIONER DOUGLAS: Thank you for your
13 comments. Your comments point out the importance of us
14 working with you and you working with us as we move
15 forward because, you know, flexibility in terms of how
16 you get to savings goal is almost always a very good
17 thing. So we look forward to working closely with you
18 as I know we have in the past. And we've appreciate your
19 participation in the past, in past proceedings.

20 All right. So I've got one card left and that
21 means either that we're done for public comment for
22 people in the room or somebody would like to speak who
23 hasn't filled out a card.

24 MR. STRAIT: There are also people online—

25 COMMISSIONER DOUGLAS: We'll go online

1 afterwards.

2 Is there anybody else? Okay, so I've got
3 Charlie Stephens, Northwest Energy Efficiency Alliance.

4 MR. STEPHENS: Good afternoon, Madam Chair. I
5 am the Senior Energy Codes and Standard Engineer at the
6 Northwest Energy Efficiency Alliance. We're a nonprofit
7 that's funded by all of the electric utilities in the
8 Pacific Northwest.

9 I'm here because NEEA has, since its inception
10 in 1997, supported efficiency codes and standards
11 whether they be at the federal level or the state level.
12 I personally have worked with California in the past to
13 enact similar standards or the same standards, the very
14 same standards, that are in Oregon and Washington as
15 California has enacted. And we're continuing that.

16 We're also generating a lot of data in the
17 field right now as we invest heavily in data research
18 and we are engaged right now, I think, in collecting
19 some data that you might be interested in and I would
20 like to invite your staff to ask us for any data that
21 they might need that they don't have and we'll see if we
22 can get it in the course of what we're doing.

23 Residential is now and in 2012 and commercial in 2012
24 and 2013. Hopefully it's timely for what you're doing.
25 But I will join you as often as I can and assist your

1 efforts as we go along.

2 COMMISSIONER DOUGLAS: Thank you. Thanks for
3 being here. Thanks for your good work. Let's now turn
4 to the phone. Oh, I'm sorry. I did get one more card.
5 Pierre Delforge.

6 MR. DELFORGE: I thank you for the opportunity
7 to make some additional comments. Just want to briefly
8 clarify a couple of points after the comments by our
9 industry colleagues from Intel.

10 Firstly, the comment about looking at data
11 centers rather than servers for efficiency, I think
12 that's a very valid comment in terms of the opportunity
13 that we ought to optimize on the operation of data
14 centers however we need to make sure that about half of
15 servers in the US are not in data centers but small
16 server rooms and server closets. And they're often
17 purchased and operated without a good understanding or
18 good practices in terms of energy efficiency.

19 I think data center energy efficiency and
20 hardware efficiency are complimentary and not either or
21 and we should pursue both.

22 The second point is in terms of the power
23 supplies. So the recommendation that we don't have a
24 prescriptive requirement on power supplies and just
25 focus on the system level. The reason why we recommend

1 both is because power supplies, the improvement of power
2 supplies, is very cost effective and we think that we
3 should be able to get power savings both from the system
4 level and from prescriptive components when it is cost
5 effective and relatively simple to do so.

6 There's a NEEA report which came out recently
7 that found that only 1/3 of the market today used 80
8 plus power supplies which are basically some of the more
9 efficient power supplies which means that 2/3 of the
10 market or in terms of PCs or desktop PCs are still using
11 power supplies at about 65-75 percent efficient over the
12 life cycle of the computer which means that half of the--
13 or a third of the power in the computer is lost,
14 stressing the power supply before it does anything
15 useful in the computer. Surely that's something that we
16 should not be allowing to continue in California. Thank
17 you.

18 COMMISSIONER DOUGLAS: Thank you. Let's go to
19 the phone now.

20 MR. STRAIT: All right. The first person
21 who's raised their hand to make a comment is a Francis
22 Rubinstein. Francis, you are now unmated.

23 MR. RUBINSTEIN: Can you hear me now?

24 MR. STRAIT: Yes.

25 MR. RUBINSTEIN: Great! Well, thank you very

1 much for the opportunity to comment. I'll make this
2 very brief. I'm Francis Rubinstein. I'm Staff
3 Scientist at Lawrence Berkeley National Lab.

4 I'm just going to address my comments on the
5 lighting section. I commend the lighting stakeholders
6 there, from what I can hear, Randal and Michael
7 McGaraghan and of course, Kostas, I thought you guys did
8 a great job. I like almost all of the stuff that you're
9 proposing here.

10 Clearly, there is some filling in needed of
11 some of the gaps that with EESA and the DOE have left
12 off, particularly in some of the specialty areas like
13 candelabra based products and three way bulbs and so
14 forth. Eventually the feds may preempt us but would
15 certainly expect an energy bill in the next couple of
16 years. So while the cats away, the mice will play. So
17 I think you guys should keep going the direction you're
18 going.

19 With regards to dimming ballast, I think that
20 the issues related to ballast luminous efficiency and
21 system efficiency, those are technical details which can
22 be worked out on the fly and I don't think that we need
23 to burden things too much.

24 But my main comment here, my closing comment
25 really, is the main thing is that we need manufacturers

1 to provide accurate performance data on ballast factor
2 and system input power for ballast and operating in all
3 common lamp types. I'm afraid to say that I've lost
4 confidence in the data that I've seen in at least some
5 ballast manufacturer's website so I think this needs to
6 be addressed going forward.

7 I very much liked Terry McGowan's concepts of
8 essentially putting in an energy reporting chip in there
9 a bulb, I've been arguing that for a long time with
10 regards to dimming ballast, of course I know it'd be a
11 great option anyways. I definitely think it'd be a
12 fruitful thing to go at. And I'll have some more
13 comments but I will submit them before the deadline.
14 Thanks very much for the opportunity to address the
15 group there.

16 COMMISSIONER DOUGLAS: Thank you. Next.

17 MR. STRAIT: All right. I do not see anyone
18 else that has their hand up. On the other hand, there
19 are some people who are attending the meeting solely by
20 phone and can't click the button to do that so I'm just
21 going to unmute the lines and see if anyone else present
22 has a comment they'd like to make.

23 The phone lines are now unmuted. If there's
24 someone who desires to make a public comment specific to
25 this workshop please speak up.

1 MR. EARNHARDT: This is Bob Earnhardt with
2 (inaudible) Electronics. Can you hear me?

3 MR. STRAIT: Yes, we can hear you.

4 MR. EARNHARDT: I just wanted to make a couple
5 of comments. I heard one comment that system luminous
6 efficacy has no positive implications for dimming
7 systems and I would like to comment that energy
8 efficiency does cost money so there will always be a
9 cost trade off, just assume that these items will have a
10 cost impact. That's all. Thank you.

11 MR. STRAIT: Thank you, sir.

12 MR. EARNHARDT: Oh, excuse me. One more
13 comment.

14 MR. STRAIT: Sure.

15 MR. EARNHARDT: Mr. Rubinstein was saying
16 about measurement accuracy. I think the CEC may want to
17 follow what's going on with the—

18 MR. STRAIT: One moment. Let me—

19 MR. EARNHARDT: They're having quite a bit of
20 discussions now with the Department of Energy on this
21 very topic, this very significant topic right now, and
22 the industry is working very hard to try to develop
23 accurate metrics for ballast efficiency.

24 MR. STRAIT: Thank you. I apologize for some
25 of the noise that was on the line there.

1 COMMISSIONER DOUGLAS: Are there other
2 comments? All right. I'd like to thank all of the
3 participants of this workshop. It's been very helpful
4 for me and I'm sure our staff as well. So we'll look
5 forward to continuing to work on these topics and we
6 look forward to following up in the relatively near
7 future.

8 I really appreciate all of the hard work that
9 everyone has put into preparing for this workshop and
10 for coming to the Energy Commission or participating by
11 phone. It's been very helpful to use. So with that, we
12 are adjourned. Thank you.

13

14 [Meeting is adjourned at 3:32 p.m.]

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF,

I have hereunto set my hand this 16th day of September, 2011.

Kent Odell

Kent Odell
CER**00548