

BEFORE THE
CALIFORNIA ENERGY COMMISSION

DOCKET
12-IEP-1B

DATE	<u>FEB 23 2012</u>
------	--------------------

RECD.	<u>MAR 05 2012</u>
-------	--------------------

In the matter of,)
)
) Docket No. 12-IEP-1B
Preparation of the)
2012 Integrated Energy Policy)
Report Update (2012 IEPR Update))

**Lead Commissioner Workshop on 2012-2022 Revised Staff
Electricity and Natural Gas Demand Forecasts**

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

THURSDAY, FEBRUARY 23, 2012
10:00 A.M.

Reported by:
Michael Connolly

COMMISSIONERS PRESENT:

Carla Peterman, IEPR Lead Commissioner
Chair Robert B. Weisenmiller, Energy Commission
Jim Bartridge, Advisor to Commissioner Peterman

STAFF

Suzanne Korosec, IEPR Lead
Chris Kavalec, Demand Analysis Office
Nick Fugate, Demand Analysis Office
Asish Gautum, Demand Analysis Office
Ken Rider, Appliances and Process Energy Office

ALSO PRESENT (* Via telephone)

Analisa Bevan, California Air Resources Board
Hillard Huntington, Stanford University
Tim Vonder, San Diego Gas & Electric
Dina Mackin, CPUC
Herb Emmrich Southern California Gas Company
Sharim Chaudhury, Southern California Edison
Zeynep Yucel, Pacific Gas & Electric Company
Nate Toyama, Sacramento Municipal Utility District
Nathaniel Skinner, Energy Division, CPUC
*Sierra Martinez, Natural Resources Defense Council

INDEX

	Page
Introduction	
Suzanne Korosec	5
Opening Comments	
Commissioner Carla Peterman	6
Chair Robert Weisenmiller	7
Statewide Forecast Results and Methods	
Chris Kavalec, Demand Analysis Office	8
Electric Vehicle Forecast: California Air Resources Board Analysis	
Analisa Bevan, CARB	36
Energy Efficiency Considerations	
Nick Fugate, Demand Analysis Office	50
Self-Generation Forecast	
Asish Gautum, Demand Analysis Office	60
Lunch Break	66
Staff Forecast Results for the San Diego Gas and Electric (SDG&E) Planning Area	
Chris Kavalec, Demand Analysis Office	67
SDG&E Comments/Response	
Tim Vonder, SDG&E	72
Herb Emmrich, Southern California Gas Company	79
Staff Forecast Results for the Southern California Edison (SCE) Planning Area	
Chris Kavalec, Demand Analysis Office	83

INDEX

	Page
SCE Comments/Response	
Sharim Chaudhury, SCE	88
Staff Forecast Results for the Pacific Gas and Electric (PG&E) Planning Area	
Chris Kavalec, Demand Analysis Office	100
PG&E Comments/Response	
Zeynep Yucel, PG&E	104
Staff Forecast Results for the Sacramento Municipal Utility District (SMUD) Planning Area	
Nick Fugate, Demand Analysis Office	111
SMUD Comments/Response	
Nate Toyama, SMUD	114
Staff Forecast Results for the Los Angeles Department of Water and Power (LADWP) Planning Area	
Nick Fugate, Demand Analysis Office	119
LADWP Comments/Response	
(None)	
Public Comments	
Nathaniel Skinner, Energy Division, CPUC	128
Sierra Martinez, NRDC	123/126
Closing Remarks	128
Adjournment	132
Certificate of Reporter	133

P R O C E E D I N G S

1
2 FEBRUARY 23, 2012

10:07 A.M.

3 MS. KOROSSEC: Okay, we are going to get started.

4 Good morning, everyone. I'm Suzanne Korosec. I manage the
5 Energy Commission's Integrated Energy Policy Report Unit.
6 Welcome to the today's workshop on the Energy Commission
7 Staff Revised Electricity and Natural Gas Demand Forecast
8 for 2012 to 2022.

9 I will just cover a quick housekeeping items before
10 we get started. The restrooms are out in the atrium through
11 the double doors and to your left. We have a snack room on
12 the second floor at the top of the stairs under the white
13 awning. And if there is an emergency and we need to
14 evacuate the building please follow the staff out of the
15 building to the park that is kitty-corner to the building.

16 Today's workshop is being broadcast through our
17 WebEx conferencing system and parties need to be aware that
18 you are being recorded. We will make an audio recording
19 available on our website in a couple of days after the
20 workshop and we will make a written transcript available in
21 about two weeks. Chris is going to go over today's agenda
22 in a moment but I do want to mention that we plan to take
23 lunch around noon. And after all the afternoon
24 presentations are completed we will have an opportunity for

1 more general public comment.

2 During the public comment period we will take
3 comments first from those of you in the room followed by
4 those participating via WebEx. When making comments or when
5 asking questions any time during the workshop today please
6 come up to the center podium and use the microphone so that
7 we can make sure that the people on WebEx can hear you and
8 that your comments are reflected in the transcript. It's
9 also helpful when you come up to speak if you can give our
10 court reporter a business card so that we make sure your
11 name and affiliation are correct. For WebEx participants,
12 you can either use the chat or "raise hand" functions to let
13 our WebEx coordinator know that you would like to make a
14 comment or ask a question and we will either relay your
15 question or we will open your line at the appropriate time.
16 We are also accepting written comments on today's topics
17 until close of business March 1st. And the notice for
18 today's workshop, which is available on the table in the
19 foyer and also on our website, explains the process for
20 submitting comments to the IEPR docket.

21 So with that I will turn it over to the dais for
22 opening remarks.

23 COMMISSIONER PETERMAN: Good morning and welcome to
24 everyone here and on the phone to the Electricity and
25 Natural Gas Demand IEPR Workshop. We are happy to have you

1 all here and appreciate your assistance in helping the
2 Energy Commission continue to develop and improve its
3 electricity and demand forecasts to help us better plan what
4 energy supply we will need going forward. And indeed a
5 number of our state policies can make demand uncertain and
6 as we look forward to better understand expected energy
7 efficiency, electric vehicles and just economic conditions
8 we appreciate your input.

9 And with that I will turn it over to our Chairman.

10 CHAIR WEISENMILLER: Again I would like to certainly
11 thank the parties for their participation. This is one of
12 the more important things the Energy Commission does in the
13 IEPR, is to adopt a demand forecast to be used by the other
14 state agencies. And certainly in this one I think we are
15 struggling with probably a greater amount of uncertainty
16 than we have faced historically. As Commissioner Peterman
17 has mentioned, certainly all of us see the econ-demo as
18 being a very critical variable and certainly affecting the
19 forecast. At the same time the state has very vigorous
20 energy efficiency programs and also a very vigorous program
21 now on electric vehicles and also for self-generation. So
22 we are trying to see how all this fits together and to come
23 up with an expected case and then a high and a low case is
24 something we both take very seriously.

25 And so again certainly I would appreciate your input

1 on all these factors. Thanks.

2 MR. KAVALEC: Good morning. I am Chris Kavalec from
3 our Demand Analysis Office. I would like to take a second
4 before we get started to acknowledge the contributions of
5 Tom Gorin. He has recently retired, although he has come
6 back as an annuitant. He couldn't be here today but this is
7 probably the first demand-related forecasting workshop he
8 has missed in 30 years. So, thank you, Tom.

9 Our report was recently posted. I apologize for the
10 lateness of that posting. It was only a couple of days ago
11 and in our next forecast schedule I will build in more of a
12 cushion there.

13 Okay, our agenda today, I'm first going to talk
14 about statewide results for electricity and natural gas,
15 including a little bit about the methods we used to do the
16 forecast. Within that presentation I want to work in some
17 comments from our expert panel. We've brought in an expert
18 panel to give a high level assessment of our methodology and
19 steps we might take to change our improve our forecasting
20 methods. We are going to delve a little bit more than we
21 typically do into our electric vehicle forecast. In this
22 forecast we include electric vehicle scenarios developed by
23 the Plug-In Vehicle Collaborative. However, those scenarios
24 may already be a little bit dated, especially since the Air
25 Resources Board has recently revised the zero emission

1 vehicle mandates.

2 So Analisa Bevan from the Air Resources Board is
3 here to provide us a scenario she has developed that is
4 consistent with the new ZEV mandates. In other words,
5 assuming the ZEV mandates are met, here is what our vehicle
6 population may look like in the future in terms of the
7 number of plug-in hybrid vehicles, dedicated electric
8 vehicles as well as fuel cell vehicles. And the idea being
9 that we could incorporate this scenario into the final
10 version of our forecast, which will be done in the Spring.
11 Incidentally, this is our revised forecast but we still have
12 room to incorporate comments, make a few changes before the
13 final adopted version of the forecast in the Spring. And we
14 call this California Energy Demand or CED 2011 Revised
15 Forecast.

16 After the electric vehicle forecast discussion we
17 will have a presentation on conservation and efficiency that
18 goes into the forecast followed by self-generation. And
19 then in the afternoon we will present results for the five
20 major planning areas. And here are the eight planning areas
21 that are included in our forecast, the first five of which
22 we will discuss further this afternoon. And for natural gas
23 we have the three main planning areas and then everything
24 else in the state combined into "other.

25 So when we produce a forecast what we are producing

1 are projections for electricity and natural gas; electricity
2 sales and net energy load, meaning we are taking into
3 account transmission and distribution losses; peak demand;
4 energy savings from codes and standards, utility efficiency
5 programs as well as price and other market effects; and
6 self-generation.

7 To do this forecast here are some of our key inputs.
8 We use survey data to feed our end use models and that means
9 data for appliance saturations as well as average energy
10 consumption in a given year by appliances or end uses. Very
11 critical are our economic-demographic projections that go
12 into the forecast, energy prices, QFER sales data - that's
13 the billing data that we get from the utilities quarterly -
14 and whatever program data is available at the time for
15 efficiency and self-generation.

16 Now, when we forecast we have individual sector
17 models for the sectors listed here. The residential and
18 commercial models are full end use models, meaning they are
19 bottom-up models. So we are starting from appliance
20 saturations and average annual energy consumption and
21 building up from there. Our industrial model is sort of a
22 hybrid end use econometric model. We have an econometric
23 agricultural model and then the remaining sectors we do with
24 a trend analysis. And the results are aggregated in our
25 summary and peak models. Also for those first three sectors

1 there we have estimated econometric models and I will talk
2 about how the econometric estimates and results are
3 integrated into the forecast in a minute.

4 So here is what the overall structure looks like. I
5 couldn't fit in the street lighting and TCU sectors so
6 pretend it's over there on the right. So the residential
7 model is actually made up of two models, a model that
8 predicts the number of homes by type as well as the energy
9 portion of the model. For commercial, we have a model that
10 predicts commercial floor space additions and then the
11 energy model. Results from these sector models are sent to
12 our summary model, where weather adjustments are made. We
13 do some post-processing for utility efficiency programs and
14 we calibrate the results to actual historical data. And
15 then results at the end use level are sent to our peak
16 model, where load shapes are employed and we develop an
17 annual peak for each year. And this chart is so darn
18 impressive that no one dares question our forecast.

19 (Laughter)

20 As I mentioned we have integrated econometric models
21 into our forecasting process for the three major sectors as
22 well as peak. We have a predictive model for residential
23 photovoltaics and solar water heating that Asish will talk
24 about a little bit later when we talk about self-generation.
25 This is for the residential sector. For the other sectors

1 and technologies we use a simple trend analysis, although we
2 are attempting to develop a predictive model for the
3 commercial sector, too. Our forecast incorporates climate
4 change using temperature scenarios developed by the Scripps
5 Institute, more about that in a minute.

6 Relative to the 2009 forecast, our last adopted
7 forecast, we have included additional efficiency initiatives
8 listed here. We typically make the distinction in our
9 forecast between committed and uncommitted efficiency,
10 committed efficiency being efficiency savings from
11 initiatives that have been finalized, have firm funding and
12 a specific program plan associated with them. In our
13 baseline forecast, which is what we are talking about today,
14 we include only committed efficiency impacts. There are in
15 addition reasonably expected to occur efficiency savings
16 from future programs and codes and standards and so on.
17 Those are not included and we call those uncommitted. But
18 we will be doing additional analysis for uncommitted
19 efficiency later in the year.

20 In 2009 we spent all our time on refining our
21 electricity efficiency estimates and no time on the natural
22 gas stuff. Well, since then we've updated our natural gas
23 efficiency program estimates out through the year 2012 to
24 the last year of the current IOU program cycles.

25 We integrate our econometric model results into our

1 forecast with the end use models in various ways, including
2 using price elasticities estimated in the econometric
3 models. We change the weather adjustment that we make in
4 the commercial end use model to be consistent with what we
5 estimated in our econometric model. We found in our
6 econometric analysis that labor productivity, or the amount
7 of output per unit of labor, has a very significant impact
8 on energy usage in the manufacturing sector. So we
9 incorporated that in our end use industrial model.

10 Results from our peak model HELM, hourly electric
11 load model, were adjusted using the econometric model to
12 incorporate climate change scenarios that I will talk about
13 in a minute. And we got some funny results for our mining
14 and construction sectors out of the end use model. The
15 results didn't seem to jive with the inputs going in. So we
16 decided to use the econometric results rather than the end
17 use results in these two subsectors.

18 So, as I said, to adjust for climate change we are
19 using the results from an econometric peak model. In these
20 scenarios developed by Scripps and others what you find is
21 that minimum daily temperatures tend to rise faster than
22 maximum daily temperatures. You know, in our preliminary
23 forecast that we released last summer we also had an
24 adjustment for climate change but that was determined by
25 using the maximum of annual daily maximum temperatures,

1 okay? Or the annual maximum of daily maximum temperatures,
2 if you can follow that. However, to incorporate rising
3 minimum temperatures we re-estimated this model and included
4 for temperature the annual maximum of daily average
5 temperatures, okay, to incorporate both minimums and
6 maximums. So that gave us a much more significant
7 coefficient and the ultimate result was that we have roughly
8 twice as much in terms of climate change effects in the
9 revised forecast versus the preliminary forecast.

10 These temperature scenarios were provided by
11 Scripps. We chose one at the high end to use for our high
12 demand scenario and one in the middle for our mid scenario.
13 And our low demand case included no climate change
14 adjustment. Because in these scenarios there is temperature
15 volatility from year to year, as there is in real life, in
16 order to guard against, you know, a temporary drop off in
17 average temperatures in the year 2022, for example, we used
18 a long-term trend for the scenarios from 1990 to 2020 in
19 order to sort of weather-normalize the temperature scenarios
20 so you didn't have dips up and down during the forecast
21 period.

22 So the variable we used, as I said, was annual
23 maximum daily average temperature. It's listed there as
24 "average631". That means we use 60 percent of today's
25 temperature, 30 percent of yesterday's temperature and 10

1 percent of the temperature two days previous in order to
2 incorporate heat build-up effects. As in the preliminary
3 forecast, we did three demand scenarios, a high, a mid and a
4 low case. The high case, we have higher economic and
5 demographic growth, brought to us by Global Insight through
6 their optimistic scenario, combined with lower electricity
7 rates, lower efficiency program impacts and self-generation
8 impacts. At the low case, we have basically the opposite of
9 that, lower economic-demographic growth.

10 In the preliminary forecast we used Economy.com's
11 protracted slump scenario. The problem with that was that
12 in this scenario the levels for the major economic
13 indicators by the end of the forecast period almost reach
14 what they are in the mid scenario, so you don't get much of
15 a spread between the mid scenario and the low scenario. So
16 what we did this time was to combine the protracted slump
17 scenario with lower long-term growth - another scenario of
18 theirs - in order to get more of a spread among the
19 scenarios by the end of the forecast period. And in the mid
20 case we have levels in between the two and that's driven by
21 Economy.com's base case economic forecast.

22 As I mentioned, we developed a preliminary forecast
23 back in August and since then for this forecast we have
24 updated the economic-demographic projections that we are
25 using. We are now using these two companies, Global Insight

1 and Economy.com, and they update their forecasts monthly.
2 So we are now using their forecast developed in October of
3 last year. In the preliminary forecast we were using
4 April's forecast. In addition, because of the 2010 census
5 the Department of Finance has revised their estimates of
6 California down significantly for the historical years 2000
7 to 2010. The census found that there were a lot less people
8 in California than we had thought.

9 In the preliminary forecast for our population we
10 used for the historic numbers DOF and for population
11 projections we used the growth rates projected by
12 Economy.com in their population forecast, because DOF has
13 not yet updated their long-term forecast since the 2010
14 census. In other words, what I'm saying is our historic
15 population estimates that go into the model are
16 significantly lower from 2000 to 2010 than they were in the
17 preliminary forecast. However, that really doesn't affect
18 the forecast because we are still using basically the same
19 population growth rates in the forecast period. It does
20 however affect levels of per capita consumption and per
21 capita peak, which I will show in a minute.

22 All of our econometric models were re-estimated, not
23 just the peak model. As I said, our new climate change
24 formulation using annual maximum of average daily
25 temperatures led to higher impacts on peak, and I will show

1 that later. We are using a different electric vehicle
2 forecast. In the preliminary forecast we used a forecast
3 coming from our Fuels Office. These new scenarios that
4 we've incorporated that we will talk about later lead to a
5 lower electric vehicle forecast. And we have incorporated
6 the television standards implemented in 2011. Nick will
7 talk about that more in a minute but the bottom line is that
8 savings from these standards are estimated to be around 2600
9 gigawatt-hours by 2022 statewide.

10 Finally, on to the summary of results. What I'm
11 going to do is compare our revised forecast, CED 2011
12 revised, with our 2009 forecast, showing all our new
13 scenarios versus the 2009 forecast, and then compare the mid
14 case for the preliminary forecast, the mid case for our
15 revised forecast, and the 2009 forecast, to get all three
16 forecasts in there. And that comparison makes the most
17 sense in the latter case because all those scenarios, the
18 two mid cases and the 2009 forecast, are using Economy.com's
19 baseline forecast at the time. So they are the best point
20 of comparison.

21 Relative to the 2009 forecast, not surprisingly we
22 have a lower starting point for consumption because the
23 recession was worse than had been anticipated. And in
24 addition 2010 and 2011 were relatively cool weather years,
25 which reduced demand, and slightly lower growth from 2011 to

1 2020 in our mid scenario versus 2009. And this comes from
2 the additional savings that are included in our forecast
3 this time from Huffman Lighting coded through our Title XX
4 regulations, television standards, as well as a lower
5 electric vehicle forecast. And versus our preliminary 2011
6 forecast, we have lower consumption in all three of the
7 scenarios, the high, the mid and the low, because of the TV
8 standards and the lower electric vehicle forecast, as I
9 mentioned, as well as very slight lower income growth in the
10 mid case. For the high case, income growth projected by
11 Global Insight has really come down a lot so they are more
12 pessimistic on California's future output/income growth.

13 In the case of peak demand, we have higher growth
14 versus the 2009 forecast because of climate change impacts.
15 However, the preliminary 2011 forecast, the peak starts off
16 at a lower point. In the preliminary forecast we were
17 estimating 2011 peaks, for the revised forecast we had the
18 actual peak data. When we estimated the peaks using the
19 actual data we found that the peaks were lower than we had
20 anticipated when we did our preliminary forecast. So we
21 have a lower starting point for peak. However, because of
22 additional climate change impacts we have a higher growth
23 rate and with peak basically in the mid cases reaching an
24 identical level in the preliminary and revised forecasts by
25 the end of the forecast period.

1 A picture of statewide electricity consumption, 2009
2 versus or three new forecasts, you can see that in the high
3 case we reach the 2009 level by 2019, even though we are
4 starting off at a significantly lower point. In the mid
5 case we reach the 2009 level by the end of the forecast
6 period, 2022. Comparing the three forecasts, the two mid
7 cases, preliminary and revised, and the 2009 forecast, we
8 have similar growth rates in all three of these cases,
9 slightly lower in our newer forecast, the revised mid case,
10 because of the additional savings included.

11 And if we subtract off self-generation we get to
12 electricity sales, which we are all interested in these days
13 because of renewable requirements, it looks similar to
14 consumption. The growth is a little bit lower because of a
15 higher amount of projected self-generation compared to the
16 2009 forecast. And in our high case we reach the 2009 level
17 by 2020 instead of 2019. Comparing the three forecasts
18 again, a little bit more of a spread between the preliminary
19 and the revised forecasts because a little bit higher self-
20 generation in the revised forecast versus the preliminary,
21 which Asish will talk about.

22 Our statewide peak or non-coincident peak - non-
23 coincident means that we are simply adding up the peaks of
24 all the individual planning areas, so it's not the actual
25 peak for the state as a whole. So we have faster growth in

1 the mid and the high cases versus the 2009 forecast again
2 because of incorporated climate change effects, which were
3 not included at all in the 2009 forecast, I should mention.
4 Note that in that historical series there, the black line,
5 the very last point is 2011 weather-adjusted or weather-
6 normalized number. Weather-normalized basically means that
7 you are estimating what the peak would have been in a -
8 quote - average weather year. The actual peak in 2011 is
9 lower than the weather-adjusted, it's below the black line
10 there. And that's because 2011 was a relatively cool year.

11 Comparing the three forecasts again, for our newest
12 forecast in the mid case we have a lower starting point, as
13 I mentioned, but a higher growth rate. So we basically end
14 up where we were in the preliminary forecast by 2022. And
15 in California we always like to show off about our low per
16 capita electricity consumption. And if you look at the
17 overall series there from 1990 on, it's relatively flat.
18 And that's what we predict basically going out into the
19 forecast period, although at the very end in the mid and the
20 low cases we have a slight increase and that comes from the
21 addition of electric vehicles driving up per capita
22 consumption; whereas in the high case we have enough growth,
23 especially in the industrial sector, to push per capita
24 consumption up throughout the forecast period.

25 Comparing the per capita electricity consumption for

1 the two mid cases and the 2009 forecast, because of the
2 population adjustment you will note there the dark blue line
3 above the green line - the dark blue line being our newest
4 forecast, the green line being the preliminary forecast -
5 that's the impact that the downward adjustment in population
6 had on per capita consumption, okay? Lower number of
7 people, same amount of energy use, you have a higher per
8 capita consumption. So that amounted to an increase of
9 almost 300 KWh, starting in 2011. We are still well below
10 the national average, which the last time I looked was over
11 10,000 KWh a year. So we can still be smug about our per
12 capita consumption, maybe just not quite as smug as before.

13 As I mentioned, we build up our forecast from
14 individual sector models and we find that we have the
15 fastest growth in the residential sector fueled by electric
16 vehicles, most of which are assigned to the residential
17 sector. And of the three main economic sectors, second
18 would be commercial and third industrial, which is
19 relatively flat. Except in the high scenario - Global
20 Insight is very optimistic about industrial growth - so in
21 the high scenario the fastest growth is in the industrial
22 sector.

23 Comparing the three forecasts again, the two mid
24 cases and the 2009 forecast, residential growth is down from
25 what it was before because of the additional savings from

1 the television standards and a lower electric vehicle
2 forecast. For the commercial the two mid cases and the 2009
3 forecast basically have the same growth rates for the
4 preliminary and revised forecasts in the commercial sector,
5 a little bit lower because TV standards do impact the
6 commercial sector, too. Both are higher than the 2009
7 forecast because employment growth is higher than was
8 projected in 2009. Employment growth is what determines in
9 large part commercial floor space, which determines energy
10 use in the commercial sector.

11 For the industrial sector, growth rates from 2011 to
12 2020 are similar in the preliminary and revised mid cases, a
13 little bit lower in our revised case and that's because the
14 price elasticity we estimated in the industrial sector with
15 our econometric models is slightly higher than it was for
16 the preliminary forecast. And both are lower than the 2009
17 forecast and that's because of lower projected manufacturing
18 growth in the industrial sector. And our other sectors grow
19 roughly at the same rate as population, a little bit below
20 that. So their growth rates over the forecast period are a
21 little bit less than one percent.

22 A couple of slides about our natural gas forecast.
23 As I say, we do this by planning area, the three major
24 planning areas and other. This is an end user natural gas
25 forecast so it does not include natural gas used for

1 electricity generation. The forecast is produced with the
2 same end use models we use to produce the electricity
3 forecast. We have not yet estimated econometric models for
4 natural gas to go along with those but we will be doing
5 that. And, as I mentioned before, we have updated the
6 natural gas efficiency program impacts for this forecast.

7 So here is statewide natural gas consumption. We
8 actually end up with the mid case being higher for the high
9 case for natural gas and that's because Global Insight,
10 which we use for the high case, as I said, their projections
11 for resource extraction are very pessimistic, it declines
12 very quickly. And resource extraction is a very heavy
13 natural gas user. So the result of that is that the high
14 case actually ends up below the mid case, where the
15 projections for resource extraction like oil are not as
16 pessimistic. So all three scenarios are basically above the
17 2009 forecast because of a higher starting point, more
18 natural gas consumed in 2011 than was anticipated in the
19 2009 forecast. And again comparing the two mid cases and
20 the 2009 forecast, we are very close.

21 One point to make about natural gas consumption,
22 growth rates are lower than in the electricity sector for
23 various reasons. But a key reason for that is the impact
24 that the natural gas standards have had on our codes and
25 standards have had on natural gas consumption. Relative to

1 total consumption they have had more of an impact than they
2 have had for electricity. And that's because with natural
3 gas you can focus on a few key end uses and you're going to
4 get almost all the natural gas consumption, like heating for
5 example. Whereas with electricity you have a more wide
6 variety of end uses and you have new toys using electricity
7 being developed all the time. So you don't get as much as a
8 reduction in electricity demand from the standards as you do
9 with natural gas.

10 Overall you can see historically we are flat or
11 declining and in the forecast it begins to increase a little
12 bit and that's because we don't incorporate uncommitted
13 standards. So we only have standards going through 2012.
14 Had we incorporated expected impacts of standards not yet
15 implemented we would be a lot more flat in the forecast
16 period, like it looks like history.

17 A couple of key inputs. You see what happened with
18 the population adjustment. In 2011 basically we are
19 starting out with a population 1.6 million lower than in the
20 preliminary forecast. That's again because of the
21 historical downward adjustment made by the Department of
22 Finance based on the 2010 census. State household total
23 income is rising at a faster rate in the mid and high cases
24 versus 2009. I don't show the preliminary here but in the
25 mid case it would look almost identical, just a tiny bit

1 higher in terms of growth. The high case, as I mentioned,
2 has come down quite a bit. So you can see in this graph
3 here it is very close to the mid case, whereas in the
4 preliminary forecast it was much higher than the mid case.
5 And for the low case, since we combined the protracted slump
6 in the short-term case with lower long-term growth, we have
7 more of a spread between the mid and the low case than we
8 had in the preliminary forecast.

9 Another key input, total employment, which drives
10 our commercial floor space projections. We have a lower
11 starting point because the recession was worse than
12 anticipated but faster growth in the mid and high cases
13 versus the 2009 forecast. And you can see that by 2020 in
14 the high case we are almost at the employment level
15 projected in the 2009 forecast with the mid case being a
16 little bit below.

17 Climate change impacts that I mentioned earlier,
18 this shows the impacts on peak demand for each of the five
19 major planning areas as well as the state total. Down at
20 the bottom, for the mid scenario we have almost a thousand
21 megawatts or two power plants additional impact on peak from
22 climate change, and around 1300 megawatts in the high case.
23 And this is roughly twice as much as we had in the
24 preliminary forecast so that produces higher growth in peak.
25 By the way, PG&E has done something similar for their

1 forecast, a little bit more sophisticated, they use a lot
2 more scenarios. And I believe in their last forecast the
3 amount of climate change impacts tracks very close to ours,
4 if I remember. So that is a good sign, that we are getting
5 the same answer, or it could just mean that we are both
6 going to be wrong by the same amount.

7 I also compare our CED 2011 revised forecast done
8 mainly with the end use models with what I'm calling our
9 pure econometric forecast. And that means the results for
10 the commercial, residential and industrial sectors are
11 replaced with the results that come from the econometric
12 models. The same for peak. Peak from the end use model is
13 replaced by the econometric peak model results. And at a
14 statewide level the econometric forecasts give us a slightly
15 higher projection. And the differences - one obvious
16 difference is there are two different approaches, one is
17 aggregate and one is more disaggregate. So you would expect
18 to get some difference.

19] Another cause for the difference is the way that
20 efficiency is accounted for. In our end use models we
21 explicitly account for efficiency, whereas with an
22 econometric model unless you have an explicit variable for
23 efficiency, what happens is that your efficiency gets picked
24 up through the trend, either from one of the other
25 explanatory variables or through your time trend variable.

1 In other words, it's basically projecting the existing trend
2 and efficiency out to the end of the forecast period because
3 you don't have a variable in there for efficiency.

4 So determining what that trend is or how much
5 efficiency is really incorporated in the econometric
6 forecast is sort of subjective because the effects are
7 carried into all the other variables. Our goal is to be
8 able to explicitly account for efficiency in an econometric
9 model through work being done here as well as the work being
10 done at the CPUC through their macroconsumption metric work.
11 So if we can do this that will give us a much more clear
12 comparison between the end use results and the econometric
13 results.

14 So consumption is about one percent higher in 2022,
15 peak a little bit more of a difference, around two percent.
16 Although if you took any reasonable confidence interval
17 around these econometric results the end use results would
18 be in the confidence interval. So one reason that we did
19 these econometric models was to be able to compare and see
20 how reasonable our end use forecasts seem, or vice versa.
21 However, these econometric forecasts could be used as
22 additional scenarios if we wanted to. For example, in the
23 high case the econometric results are little bit higher as
24 well. So if we wanted to we could substitute in the high
25 case the econometric results and thereby increase the spread

1 between the high and low cases. So that's something to
2 think about.

3 Okay, I'm going to stop temporarily here before I
4 get to electric vehicles and ask if there are any questions
5 or comments.

6 CHAIR WEISENMILLER: Sure. Thanks, Chris, for the
7 information. I had a couple of questions. One, I will
8 start with more of an announcement, is that part of the IEPR
9 in April we are going to have a workshop looking at the peer
10 research impacts on climate change on the electricity
11 system, or at least the energy system. And so from that we
12 may be able to bring more insight back into how you've done
13 the modeling here for climate change. And, again, that date
14 is not quite set but we are getting pretty close on that. I
15 think certainly it's good this has been incorporated. I
16 think we will quibble somewhat on the no impact in the low
17 case. I assume a more reasonable assumption would be that
18 the impacts are different, although there would be climate
19 change of some sort. So climate change is one of the key
20 variables.

21 The other one in my mind that I know we are trying
22 to focus on is the econometrics. And you mentioned that
23 they do monthly updates. Without rerunning anything, I was
24 just curious in terms of the more recent forecast how
25 different they are from the October values you used, if you

1 know.

2 MR. KAVALEC: They are not very different. Income
3 growth is roughly the same, employment growth is a little
4 bit faster, they are a little bit more optimistic about
5 employment now.

6 CHAIR WEISENMILLER: Okay. That's good. I'm trying
7 to understand how those are changing. I think one of the
8 other questions was in terms of in the gas model did we look
9 at natural gas for transportation?

10 MR. KAVALEC: No. That is another loose end that we
11 can tie up for the final version of this forecast. The
12 Fuels Office has a natural gas vehicle forecast that they
13 provided us but not in time to incorporate in this forecast.
14 But it can be included in the final version. Although it's
15 not clear to me whether this is their final version of their
16 natural gas vehicle forecast or not but I will have to check
17 with them.

18 CHAIR WEISENMILLER: Okay. And I think my final
19 conclusion is certainly the notion of getting a better
20 spread between the low and high cases is great. I think we
21 all realize there is a fair amount of uncertainty and the
22 more we're actually reflecting that I think the more helpful
23 it is for decision makers to understand better some of the
24 uncertainties.

25 MR. KAVALEC: Okay, before we get to the electric

1 vehicles, as I mentioned we have employed an expert panel to
2 make an assessment of our modeling methodology and maybe
3 steps we can take going forward. And I would like to ask
4 Hill Huntington, who heads our expert panel, to come up and
5 provide a few brief comments on their initial assessment of
6 our methodology. And, Hill, if you would list the other
7 members of the panel.

8 MR. HUNTINGTON: Thank you. I'm Hill Huntington
9 with the Energy Modeling Forum at Stanford University. And
10 I've been on this expert panel review. And I should list
11 the other members on it. We have Mark Jaccard from Simon
12 Fraser University in British Columbia; Jim McMahon, who is a
13 private consultant but formerly with the Lawrence Berkeley
14 Laboratories; Alan Sanstad, who is from Lawrence Berkeley
15 Labs; and Carl Linvill, who has been consulting.

16 Now, as you know, the Commission has a fairly
17 detailed set of end use processes within their model. And
18 we've been looking at that model and we've been looking at
19 the forecast process itself. And, while our review and
20 evaluations at this point are still in progress, I thought I
21 would share with you a few initial perspectives on what we
22 think is happening here.

23 First, what can we say about the demand forecasts
24 themselves? There is no evidence that we've seen that the
25 end use approach will consistently overpredict or

1 consistently underpredict the future load growths. There
2 will be times when the model overpredicts it and certain
3 times when it underpredicts it but these are often due to
4 assumptions being made. And I should say these are
5 inherently uncertain assumptions that people always have to
6 make when they put in the forecast. But they don't seem to
7 be due - these variations in the projections don't seem to
8 be due to the type of model being used for this process.

9 Second, do the forecasts themselves really differ a
10 lot from what the utilities are using? Well, yes, in some
11 cases they do, in some of the more detailed subsectors, but
12 overall there seems to be a certain common element in both
13 the projections coming out the utilities and out of the
14 Commission. Again, we are going to be looking more into
15 that type of issue but for the first cut it seems on some
16 very important issues it doesn't seem to be dramatically
17 different.

18 The third point both commissioners have already
19 mentioned the key role of the uncertainty in the
20 projections. And we noticed that in some of the earlier
21 runs there was a tendency for perhaps that maybe this
22 process was understating some of the uncertainty. And
23 that's not just the uncertainty that has to do with how
24 effective different energy efficiency programs will be but
25 it has to do with the state of the economy and demographics

1 and other kinds of technology surprises that you might
2 actually have in the projections.

3 Fourthly, can something more be done to improve this
4 process of the IEPR? Yes, I suspect, particularly as you go
5 out over time and I suspect that the answer is yes, probably
6 there are elements to do this. I will note that I think the
7 Commission has already been actively promoting some very
8 useful steps. And one of them is kind of this open process
9 where you actually get an open discussion about what's going
10 on behind the different scenarios. And I particularly want
11 to mention the Demand Analysis Working Group, the DAWG as
12 everybody seems to know it. I think that should continue
13 and perhaps we might even want to try to institutionalize
14 that a bit. Because I'm always worried when - right now it
15 seems to be people are spending the time they would because
16 they force themselves to do it. But maybe you might want to
17 try to actually formalize that process a little more, just
18 make sure that it continues on.

19 And then fifthly, can the models be improved over
20 time? I think again the answer is yes. And I think the
21 energy modeling community has generally gone to a technique
22 called the hybrid modeling, which is combining statistical
23 and end use approaches. And I think there is really a
24 unique opportunity for the Commission to take all the
25 expertise they have on the end use approach and put that

1 kind of knowledge into a hybrid type of approach that will
2 pick up some of the statistical work. And again, the
3 Commission seems to be moving - they are working quite a bit
4 with econometric and statistical approaches and so I think
5 that lends itself to that approach.

6 So those are kind of some of the issues that we are
7 really trying to address, particularly as we go forth. And
8 we are going to be exploring them in greater depth in the
9 coming months. And I just want to sort of kind of wrap up
10 my initial comments here to say that we are really
11 encouraging feedback from all workshop participants,
12 particularly on technical matters on how to make this - not
13 only how to improve the forecasts themselves but how to make
14 the whole process of the forecast more of an open exchange
15 of ideas. Because that's after all the real benefit of a
16 modeling point of view, is to open up the discussion. And
17 so I encourage you to make your comments as we go forth.
18 Thanks very much. Are there questions on your part?

19 CHAIR WEISENMILLER: Yeah, I think again certainly
20 we would like to thank the panel for its involvement in the
21 process and for giving your expertise and your willingness
22 and ability to really dig in and sort of work through the
23 modeling exercise. I guess one of the questions in terms of
24 scope, obviously we've talked today about the sort of sales
25 forecast and peak forecast and also electricity and natural

1 gas. I'm not sure, you know, how much you've dealt with all
2 pieces of the components or how much you've focused, say, on
3 just sales.

4 MR. HUNTINGTON: Well, I mean, I will say myself
5 personally, I've been spending a little more time on the
6 electricity than on the natural gas, trying to understand
7 that.

8 CHAIR WEISENMILLER: Okay.

9 MR. HUNTINGTON: Just because I just kind of think
10 that way. But I do think the gas is extremely important,
11 particularly given what we are seeing happening in the gas
12 markets continent-wide. I think it's very important to look
13 at those issues.

14 CHAIR WEISENMILLER: Yeah.

15 MR. HUNTINGTON: Is that the -

16 CHAIR WEISENMILLER: That's the major thing. I
17 would certainly encourage you over time to look not just at
18 electricity sales but peak model.

19 MR. HUNTINGTON: Oh, yeah, yeah.

20 CHAIR WEISENMILLER: And also between electricity
21 and natural gas to cover obviously all those quadrants.

22 MR. HUNTINGTON: Good, yeah, excellent.

23 CHAIR WEISENMILLER: I think the other thing you can
24 help us with over the next couple of years is certainly we
25 have more and more questions from the governor's office and

1 others about geographical areas. And certainly from a
2 policy perspective one of the key challenges we are looking
3 at is the South Coast. And so over time we have to figure
4 out not just disaggregating the models statewide into the
5 specific utility service territories but trying to really
6 fine tune them some for geographical areas. And so that
7 would be another thing to help us think through in the next
8 couple of years.

9 MR. HUNTINGTON: Okay.

10 MR. KAVALEC: Okay, thank you, Hill.

11 As I mentioned, we want to look a little bit more
12 closely at our electric vehicle forecast. We have one
13 included in this revised forecast right now but as I
14 mentioned we may be revising that forecast for the final
15 adopted version of this forecast. What we included now was
16 scenarios developed by the Plug-in Electric Vehicle
17 Collaborative, which assumes roughly 500,000 electric
18 vehicles on the road, including both plug-in hybrid vehicles
19 and dedicated electric vehicles, by 2020 in their low case
20 and a million in their high case.

21 So we needed a case out to 2022 so we extrapolated
22 these results out two years and then we distributed the
23 results to our eight planning areas based on Department of
24 Motor Vehicles data. And then we developed our mid case,
25 which is an average of the high and the low. The ultimate

1 result is that in the mid case relative to 2009 and the
2 preliminary forecast, which basically used the same EV
3 forecast developed by our Fuels Office, were around 1600
4 gigawatt-hours lower than we were in previous forecasts by
5 2022.

6 And here's what it looks like, where most of the
7 growth is happening in the last two or three years of the
8 forecast period. In the mid case we are approaching 4000
9 gigawatt-hours, whereas in the mid case in the previous
10 forecast we were almost a couple of thousand gigawatt-hours
11 above that.

12 Okay, so we will now hear from Analisa Bevan, who
13 has graciously agreed to share a scenario she has developed
14 to be consistent with the revised ZEV mandates. And
15 afterwards, after the workshop, we will talk more about
16 incorporating this into our final forecast. So, Analisa?

17 MS. BEVAN: Good morning. Thank you for this
18 opportunity to share our latest revisions to the Zero
19 Emission Vehicle Program, which are part of a much larger
20 set of changes to our motor vehicle regulations which were
21 adopted by our board in January, just last month. They
22 included the low emission vehicle smog emissions, LEV III,
23 which reduces emissions from criteria pollutants NOx and
24 ROG, our new standards for greenhouse gas emissions and
25 finally major revisions to the Zero Emission Vehicle

1 Program. So I will go very briefly through the other two
2 parts because they sort of impact ZEV and are really the
3 mother of the whole program.

4 So the low emission vehicle standards for smog
5 emissions, LEV III, the third time we've come at this,
6 bringing down emissions from the passenger vehicle fleet and
7 light trucks, further reducing their emissions by 70
8 percent. They are already pretty good but we're taking it
9 down even lower. This reduces smog-forming emissions and
10 particulate emissions. The greenhouse gas emission
11 standards, this is our second run at controlling greenhouse
12 gas emissions from passenger cars. And we've done this in
13 coordination with the federal EPA and the National Highway
14 Traffic Safety Administration, NHTSA. And these standards
15 are now in line with the standards that are proposed by the
16 federal government with an expectation that the federal
17 government will adopt later this summer and we will come
18 back and bring to our board the determination that they are
19 consistent and deemed compliant with the federal standard,
20 adequate for compliance with California standards.

21 It's important to note in terms of how we look at
22 this for projection of plug-in vehicles that these standards
23 as they are adopted to affect vehicles from 2018 to 2025,
24 it's not assumed that manufacturers need to use plug-in
25 vehicles, either plug-in hybrids or electric vehicles or

1 even fuel cells to comply with these standards. But the
2 federal program does include some special incentives that
3 make it very attractive to do that. For example, they don't
4 count the upstream emissions associated with electric
5 vehicle use in determining an electric vehicle's compliance
6 toward the standards. So that ends up making that vehicle
7 much more attractive for use in the fleet average.

8 So now turning to the zero emission vehicle side of
9 things, in 2009 our board asked us to come to them with a
10 report on how we would proceed with the zero emission
11 vehicle regulation beyond its previous flatline point of
12 2018 with an eye towards how zero emission vehicles could
13 impact or make a big difference in our reaching the 2050
14 goals of 80 percent reduction in greenhouse gas emissions
15 from passenger cars and light trucks. We did some modeling
16 around what the vehicle fleet would have to look like and
17 how quickly it would need to turnover to meet the
18 reductions.

19 And this chart, this stack of wedges, shows the mix
20 of vehicles over time, the dark blue area being advanced
21 gasoline vehicles, and then topped with that conventional
22 hybrids, plug-in hybrid, battery electric vehicles and then
23 the yellow part being hydrogen fuel cells. This is a
24 scenario, this is one way to get there. And it was built
25 through a combination of assumptions about vehicle costs,

1 vehicle performance in terms of greenhouse gas emissions,
2 and projections being made by car companies. It's a very
3 aggressive future scenario. And it indicates that we need
4 to be very seriously commercializing zero emission
5 technologies, hydrogen fuel cells and battery electrics with
6 a strong presence of plug-in hybrids by the 2025 and 2030
7 time frame. They need to be real options for consumers at
8 that point and very attractive options. Because we need
9 almost a hundred percent sale of these kinds of
10 technologies, electric drive technologies, in the 2050 time
11 frame.

12 So we took a look at the ZEV regulation with that in
13 mind and have developed a set of standards or set of
14 requirements that get us on that path or get us close to
15 being on that path to commercializing these technologies so
16 that we can see significant transformation of the vehicle
17 fleet by 2050. And the good news is there are lots of ZEVs
18 that have been announced by manufacturers. This is just a
19 snapshot of some of the vehicles that have been announced
20 that are either already on the road or projected to be, or
21 announced to be commercial by 2015, plug-in hybrids, fuel
22 cells, battery electric vehicles, quite a variety.

23 So when staff came back to the board in January with
24 changes to the zero emission vehicle regulation it was with
25 the following goals in mind: increasing the ZEV requirement

1 from a relatively low but significant requirement in the
2 2018 time frame, increasing to 15.4 percent of new cars
3 projected to be zero emission or part of the zero emission
4 vehicle program by 2025. We included more manufacturers
5 initially. It really only required the largest six
6 manufacturers to produce zero emission cars, now it's many
7 more, dipping down into what were previously intermediate
8 volume manufacturers. So the requirement now applies to any
9 car manufacturer selling more than 20,000 vehicles in
10 California per year.

11 We amended the regulatory credit structure to make
12 it more simple. I won't say that it is simple but it's more
13 simple. We used to offer a one day course on how the ZEV
14 regulation worked; I think we can squeeze that down to maybe
15 two hours now. And we added some flexibility around various
16 aspects of the regulation.

17 So this slide is sort of the overall projection of
18 the number of vehicles that we expect to see as a result of
19 the regulation and we developed this projection through some
20 assumptions about the kinds of cars manufacturers will make
21 and sort of average a few things. The requirement is
22 actually to product vehicles which are in credit and the
23 requirement is a credit requirement. Some manufacturers,
24 for example, will have a requirement to produce vehicles
25 that earn credits equal to, say, 12 percent of their sales.

1 And a long range fuel cell vehicle might earn four credits
2 and a short range battery electric vehicle may earn one
3 credit and a credit is calculated on a linear equation
4 between one and four for those zero emission vehicles based
5 on range.

6 So we have taken the requirement for credits, made
7 some assumptions about the mix of vehicles, assigned an
8 average credit value to the zero emission vehicles that are
9 used, assigned an average credit to the plug-in hybrid
10 vehicles that are used, and from there projected this
11 scenario of the number of vehicles that we will see in
12 California. As I mentioned, it grows from a relatively low
13 and steady number in the early years up to 15.4 percent of
14 annual sales in 2025. And the dashed lines below in the
15 green part of this graph show what the requirement would
16 have looked like if we had not made any changes to the
17 requirement in this last round in January.

18 So I have broken this down into the different
19 technologies, the different sectors of vehicle types that we
20 expect to see used to comply with the regulation. The red
21 portion of this graph on the top is the plug-in hybrids,
22 which can be used to meet a portion of the regulation. I
23 will back up and get a little complicated for a moment. Of
24 the credit requirement a certain amount - generally about
25 half or more - must be zero emission, pure zero emission

1 technologies, battery electrics or fuel cells. The
2 remainder can be met with plug-in hybrid vehicles or
3 internal combustion engine vehicles if we want to get very
4 specific. But nobody is really talking about that
5 technology anymore. It's still an option, though.

6 So a manufacturer has a choice. They can comply
7 with all battery electrics or they can comply with some
8 battery electrics and a whole bunch of plug-in hybrid. So
9 in this chart again we have made assumptions about assuming
10 that manufacturers will take maximum advantage of the plug-
11 in hybrid option and so that's the red portion of the graph.
12 Battery electrics are making up the middle wedge and fuel
13 cells are a very slow but growing population of this
14 compliance strategy.

15 Just to show you how we split the battery electrics
16 and the fuel cell vehicles in our scenario, I included this
17 graph which shows the percentage split of the wedges that
18 make up the pure zero emission requirement. The blue
19 portion is made of BEVs and the green portion of fuel cell
20 vehicles. The reason the fuel cell vehicles take a dip
21 around 2018, this has more to do with the compliance
22 complexities, advantages of using fuel cells versus battery
23 electrics, as opposed to reality. There are some advantages
24 in the early years between 2012 and 2018 to use fuel cells
25 to comply. It's all a very small number because they earn

1 more credit in those early years as we are trying to
2 encourage manufacturers to bring out that technology. Then
3 they sort of even out, they start to even out in 2018, the
4 difference between a fuel cell and a battery electric
5 decreases. And so in our assumption in terms of what is
6 advantageous for a manufacturer to use for compliance we
7 assume more battery electrics than fuel cells. But this is
8 the time frame in which we expect manufacturers to
9 commercialize fuel cell vehicles. So to some degree there
10 may be more fuel cells in reality in this time frame.

11 Since I know you are particularly interested in how
12 many of these cars are going to plug in and use electricity
13 I split this out just to look at the electric vehicles and
14 plug-in hybrid vehicles. And so we've got the growing
15 population of plug-in hybrids and the blue portion at the
16 bottom of battery electrics. In terms of how this compares
17 to what's in the IEPR today, we are calculating about
18 339,000 cumulative plug-in vehicles by 2020 and 1.4 million
19 by 2025.

20 Just to back up a little bit, the reason we're
21 driving this regulation to these numbers in particular is to
22 try and get the production volumes up to a point where we
23 start to see savings or dropping in cost of the components
24 that are used to make these cars. When you increase
25 production volume you decrease production cost. And what

1 we're attempting to do is bring all of the manufacturers to
2 a point where they've got enough vehicles in production that
3 we can see more cost effective application of the
4 technologies, costs come down for consumers and we can
5 consider these technologies commercial enough to then base
6 our next version of the low emission vehicle program, LEV
7 IV, on these technologies and assume that they are necessary
8 for compliance.

9 So to summarize, the advanced clean car program is
10 reducing urban air pollution and that's our primary focus,
11 secondarily reducing greenhouse gas emissions, an equal but
12 also important goal for CARB. We are really working hard to
13 commercialize these technologies so that our next round of
14 low emission vehicle regulations can rely upon them, we
15 won't need a ZEV regulation we can just use a performance
16 standard to continue to drive down emissions of criteria
17 pollutants and greenhouse gases from passenger cars.

18 There is another element to this package which
19 included our Clean Fuels Outlet Regulation and that will
20 help improve our future forecasts of vehicle types as we
21 take projections from car companies and ensure that
22 alternative fuel stations are available and our modeling of
23 the cost to consumers and impact to the economy are all
24 positive in terms of the overall package. I want to point
25 out, too, that the Board did not receive significant

1 opposite from the automakers on any of these three
2 regulatory packages. And this was a fundamental turnaround
3 from past experience. They all agree, as the slide that
4 showed all of the different cars that have been announced,
5 that these technologies are ready to come to market.

6 The area that they are concerned about, and that we
7 honestly are concerned about too, is consumer uptake. So we
8 see these requirements as a minimum. Clearly car companies
9 are engaged and enthusiastic and excited about putting these
10 cars into market. Many of their forecasts are very
11 aggressive and positive in terms of the number of cars that
12 will come to California and to other parts of the country.
13 But it comes down to how fast consumers will pick them up,
14 how fast will they adopt this technology? If past uptake of
15 advanced technology vehicles is anything to go by, we are
16 doubling, tripling that acceptance rate compared to, say,
17 the Toyota Prius or hybrids in general. And so this is
18 something that we have to watch carefully.

19 The ZEV regulation is seen as a minimum case. This
20 is the minimum number of ZEVs we will get. The fluctuation
21 between plug-in hybrids, battery electrics and fuel cells is
22 still a little bit squishy but we will get a minimum number.
23 We see that some car companies will blow this away, the ZEV
24 regulation is no longer relevant to them, and we see other
25 car companies with little or no product plan in this area

1 and they've got some catching up to do. So our goal by 2025
2 is that everybody is on this playing field with product and
3 it's commercial and consumers can readily take that choice
4 and that they are taking that choice so that we can meet our
5 2050 GHG goals.

6 That concludes my presentation.

7 CHAIR WEISENMILLER: Thank you very much. This has
8 been helpful. I guess I have a couple of questions on
9 follow-up. One of them is, as you heard from Chris earlier,
10 we try to develop a base case then a low case and a high
11 case. And we've been struggling to try to get a reasonable
12 dispersion among those cases. And so I'm trying to
13 understand in terms of your case - I mean, my presumption
14 that that's more of a base case, but then trying to
15 understand how do we construct reasonable low cases and
16 reasonable high cases. But again I think we are all quite
17 happy to have the plug-in hybrid numbers but obviously we're
18 concerned that we just weren't reflecting the new standards.

19 MS. BEVAN: I think this case could be seen as a
20 conservative low case in some respects. The exception would
21 be if manufacturers really saw all of the infrastructure
22 they needed for hydrogen fuel cells and suddenly went in
23 that direction, that could take away from the battery
24 electric and the plug-in hybrid case or battery electric and
25 plug-in hybrid compliance path. But in the time frame that

1 we are talking about I don't see that happening. We are
2 working very aggressively to put in hydrogen infrastructure
3 but to see that kind of commercialization eat into these
4 numbers is unlikely.

5 But we do see manufacturers with many product
6 announcements and a fair amount of excitement around that,
7 which could outpace these requirements. And so I think this
8 could be considered a low to middle case, but a higher case
9 would somehow be developed through projections of these
10 automakers. And we have some of that information from our
11 Clean Fuels Outlet surveys for the next couple of years.
12 How realistic those end up being in terms of - some of the
13 car companies are kind of new to this market and I would
14 like to see them get some product on the road before I put
15 much stock in whether they are right on with their
16 projections.

17 CHAIR WEISENMILLER: Well certainly any follow-up
18 you can give us on sort of the low, high - you know, again
19 that's -

20 MS. BEVAN: Yes.

21 CHAIR WEISENMILLER: The other thing that we need to
22 do is disaggregate these geographically.

23 MS. BEVAN: Sure.

24 CHAIR WEISENMILLER: And again we are looking more
25 at utility service territories.

1 MS. BEVAN: Right.

2 CHAIR WEISENMILLER: But again I don't know if the
3 Air Board has thought much about, say, the distinction
4 between how much the penetration will be in some place like
5 the South Coast as opposed to, say, the Bay Area as we go
6 forward.

7 MS. BEVAN: We do think about that. We are heavily
8 lobbied by those areas of the state with the worst air
9 quality to ensure that the ZEV regulation is adopted maybe
10 faster than other parts of the state, and especially in the
11 South Coast, as well as localized incentives and
12 infrastructure development can also drive the directionality
13 of where vehicles are place. Car companies for the most
14 part with the plug-in hybrids especially and the electric
15 vehicles as well have been very open-minded about their
16 placement and marketing for electric vehicles. On the
17 hydrogen side of things it's a little bit different because
18 they are trying to focus infrastructure development.

19 But that is something that we try to get at in our
20 Clean Fuels Outlet Regulation as well, is where are the cars
21 going and what infrastructure do they need to be marketable?

22 CHAIR WEISENMILLER: Okay. And obviously the CNG
23 option does not play very high in your plans, is that
24 correct?

25 MS. BEVAN: Correct. They are not excluded.

1 Starting in 2018 they won't be a zero emission vehicle
2 compliance path. Up until 2018 they do count as advanced
3 technology partial ZEVs. But we only have one car company
4 taking advantage of that and we haven't been getting
5 significant projections from anybody in our Clean Fuels
6 Outlet Program that they have plans to expand that. I mean,
7 the car companies in general.

8 CHAIR WEISENMILLER: Okay.

9 MS. BEVAN: I'm not making any statements about the
10 one company that does have one.

11 CHAIR WEISENMILLER: Okay.

12 COMMISSIONER PETERMAN: Thank you very much for
13 being here. And I also found this very useful. So what's
14 the assumed level of compliance with the ZEV mandate that's
15 assumed with this scenario?

16 MS. BEVAN: The scenario assumes a hundred percent
17 compliance. And our experience in the past is better than a
18 hundred percent in reality. So nobody is out of compliance,
19 everybody has some level of extra credit banked up in our
20 ZEV bank. And, as I mentioned, we've got some car companies
21 who see this regulation as irrelevant, they are far
22 outstripping it and will continue to bank those credits.
23 And other companies are kind of struggling to figure that
24 out. Credit trading is allowed in this regulation so if so
25 if somebody is a laggard they can buy credits from somebody

1 else.

2 COMMISSIONER PETERMAN: Okay, thank you. I think
3 that's useful feedback for me as following from the Chair's
4 point about considering what our low case would be.

5 MS. BEVAN: Yeah, right.

6 COMMISSIONER PETERMAN: Thank you.

7 MS. KOROSSEC: All right, next we will have Nick
8 Fugate from the Energy Commission's Demand Analysis Office
9 to talk about efficiency considerations in the forecast.

10 MR. FUGATE: Thank you. I'm Nick Fugate with the
11 Demand Analysis Office. My presentation is not quite as
12 ambitious as the title slide suggests, I'm only talking
13 about efficiency and conservation. Asish will be up next
14 with the self-generation.

15 So Chris mentioned in his presentation earlier that
16 we consider sort of two flavors of energy efficiency
17 savings, committed and uncommitted. The committed savings
18 come from initiatives that have firm funding in place as
19 well as implementation strategies so we can incorporate
20 those in our forecast. Uncommitted savings are those that,
21 you know, have not been finalized yet or funded and so those
22 are not included in the 2011 revised forecast.

23 Examples of committed savings are the standards, IOU
24 programs, utility programs that have been approved. So for
25 the IOUs that would be up through 2012 and for the public

1 owned utilities that's up through 2011. Also we consider
2 price impacts as committed savings as well. And I will be
3 talking about all three of these different types of
4 committed savings.

5 The building standards we model by adjusting inputs
6 to our models. So in the residential sector that's
7 adjustments to the energy consumption by end use. In the
8 commercial sector it's energy intensity by square foot by
9 end use. Throughout the forecast period as older appliances
10 and buildings decay they are replaced by more efficient
11 appliances and buildings with higher levels of efficiency
12 that meet the standards that are in place. So for each set
13 of standards we have a separate set of adjustments that we
14 make to the UECs and that allows us to estimate the savings
15 from each set of standards by backing them out and then
16 rerunning our models and the difference in the level of
17 consumption is our estimate of savings.

18 We also model the utility program impacts. So we
19 have three scenarios of committed utility program impacts.
20 And we begin with the utility projected savings impacts. So
21 we take those as our high case and then for the low case we
22 apply realization rates that are informed by the CPUC's 2006
23 to 2009 EM&V results. And for the mid case we apply a
24 separate set of realization rates that splits the difference
25 between the two. We do decay our savings estimates based on

1 the useful life of measures by end use. And for the IOUs we
2 only decay - for savings that were implemented after 2006 we
3 only decay 50 percent of the savings and that's in keeping
4 with CPUC's decision.

5 We do something similar for the publicly owned
6 utilities. Our program impacts are modeled in the same way
7 except that we only use first year savings estimates out to
8 2011. And that just has to do with program funding. So the
9 POUs tend to plan a year ahead whereas the CPUC has a three
10 year planning cycle. So for the IOUs we tend to have a
11 longer committed period for the utility program impacts.
12 And for the POUs we used a similar set of realization rates
13 that was informed by the CPUC's EM&V efforts.

14 So we also model price and market effects. It's
15 mostly the changes to consumption that come about as rates
16 go up or down. For the 2011 revised forecast we actually
17 did some work updating our elasticities in the model. And
18 so the residential sector model, which had in previous
19 forecasts a fairly low price elasticity, that was increased
20 to eight percent to agree with results that came out of the
21 econometric model that Chris discussed earlier. So that
22 increased the price response in the residential sector.

23 So here is a graph of the committed consumption
24 savings. And this includes savings from all committed
25 sources: programs, price effects and standards. The high

1 demand scenario has the lowest amount of program and price
2 effect savings. In 2010 the committed savings represent
3 over 22 percent of consumption and by 2022 the mid case
4 savings are roughly 29 percent of projected consumption.

5 So here is a similar graph but for peak savings. In
6 the mid case we are looking at about 24 percent reduction to
7 peak demand in 2022. You will notice there is very little
8 difference in the savings scenarios and that's because
9 residential consumption savings totals are - there are sort
10 of two different counteractive effects here. So as rates go
11 up in, you know, the high scenario over the low scenario
12 that increases consumer adoption of efficient measures but
13 also it drives down - the price effect drives down
14 consumption as well. So it brings the scenarios pretty
15 close together.

16 So Chris mentioned earlier that in addition to
17 standards and rate impacts that we already included in our
18 natural gas forecast, this time around we've developed
19 estimates of utility program impacts as well. And we use a
20 very similar methodology to what we used for the electricity
21 forecast and also included, you know, savings going back to
22 2006.

23 Here is a graph of those savings estimates. Again,
24 this includes savings from all committed sources: programs,
25 price effects and standards. The sharp increase in 2009

1 comes from a similarly sharp increase in natural gas prices.
2 And in the mid case savings here represent nearly 31 percent
3 of projected consumption by 2022.

4 This table just shows the efficiency savings as a
5 percent of consumption and peak. And you can see that the
6 percentages are higher for natural gas consumption and that
7 reflects something that Chris talked about earlier. You
8 know, in the natural gas forecast there are a few key end
9 uses that are covered by standards and so you have a greater
10 impact of standards.

11 So television standards are a new revision to our
12 revised forecast. Here I have a list of assumptions that
13 were used to develop our savings estimates, including 2.5
14 televisions on average per household. And household usage
15 we are estimating at seven hours per day in the residential
16 sector. Commercial usage is 12 hours per day. We also
17 assume that going forward there will not be a continuing
18 market for cathode ray tube televisions. We assumed that
19 screen size remains constant by technology but that said,
20 you know, as old CRTs are being replaced with LCDs, you
21 know, the LCDs generally have much larger screen sizes than
22 older TVs. And so the overall screen size in the existing
23 stock will be increasing over the forecast period. So we
24 also assume that the CRTs will be, you know, the first
25 technology to be replaced by the TVs that meet the standards

1 followed by, you know, decay of the plasma and pre-standard
2 LCDs.

3 I just wanted to mention a little bit about where
4 our estimates came from. The seven hours per day per
5 household was originally an estimate that was informed by
6 our Residential Appliance Saturation Survey and then
7 reaffirmed by the EIA's Residential Energy Consumption
8 Survey. That same survey, the EIA survey, also informed our
9 estimate of 2.5 televisions per household on average. And
10 the commercial saturation estimates came out of the 2004
11 CEUS. And then we adjusted those estimates to, you know,
12 trend with growth in forecasted energy demand.

13 So here's a table that shows the consumption and
14 peak impacts of the television standard estimated using the
15 assumptions I just talked about. So total savings combining
16 residential and commercial sectors is nearly 2600 gigawatt-
17 hours by 2022.

18 And with that I will turn to the dais.

19 CHAIR WEISENMILLER: A couple of questions. In
20 terms of the 2.5, was there a similar number in the RASS
21 survey for the number of TVs per household or was it only
22 EIA?

23 MR. FUGATE: Well, the number of TVs per household,
24 I believe, came out of the EIA.

25 CHAIR WEISENMILLER: Right.

1 MR. FUGATE: The RASS survey has estimates of -

2 CHAIR WEISENMILLER: Viewing hours. So I'm trying
3 to understand if there is a specific - also a number for
4 number of TVs per household.

5 MR. FUGATE: I'm not sure. Well, I -

6 CHAIR WEISENMILLER: That's fine, you can double-
7 check that.

8 MR. FUGATE: I believe that there is because the
9 RASS survey has viewing hours by, I think, primary,
10 secondary and tertiary TV.

11 CHAIR WEISENMILLER: Okay.

12 MR. FUGATE: So, yeah, we would have those
13 estimates.

14 CHAIR WEISENMILLER: Okay. And have we asked for
15 someone from the appliance group to be here to compare these
16 with the assumptions that we used in adopting the standards?
17 Do we have someone here?

18 (Affirmative response from audience.)

19 Great. Would you introduce yourself, please?

20 MR. RIDER: Hello. My name is Ken Rider. I will
21 give you a business card. In terms of the number of TVs per
22 household, it's not very different than what we used in our
23 rulemaking proceeding. However, the hours of use is fairly
24 significantly different than what we used in estimating
25 savings in the appliance efficiency rulemaking. We used a

1 Consumer Electronics Association-commissioned study in 2007
2 as the basis for our hours of use. And instead of, I
3 believe it was, seven hours for the entire household we used
4 a number more along the lines of five hours per television,
5 a little bit more than five hours per television. Given 2.5
6 televisions per household that yields a significantly higher
7 number of hours of use in a house. So that's one main
8 difference.

9 And just speaking to the screen size increasing, a
10 recent study was released that shows about one inch per
11 year, the average screen size in the household is growing
12 pretty significantly.

13 CHAIR WEISENMILLER: So could you provide both the
14 CEA study and that recent survey to the Demand Office?

15 MR. RIDER: Yes.

16 CHAIR WEISENMILLER: And actually to submit them to
17 the record would be good, the record of this proceeding.

18 MR. RIDER: Yes.

19 CHAIR WEISENMILLER: And do you have any data on
20 what the impacts of the standards have been so far?

21 MR. RIDER: The standards just took effect at the
22 beginning of last year so we don't have any type of
23 measurement other than that we do have a large database full
24 of compliant TVs. So manufacturers have certified a large
25 number so we know that they are complying with the

1 standards.

2 CHAIR WEISENMILLER: Okay. Is there a Tier I and
3 Tier 2 approach on those standards?

4 MR. RIDER: That's right. So at the beginning of
5 2013 Tier 2 will take effect. So the Tier 1 took effect
6 January 1, 2011 and Tier 2 will take effect on January 1,
7 2013.

8 CHAIR WEISENMILLER: And on the compliance do you
9 see any signals of whether people are moving towards Tier 2
10 early or not?

11 MR. RIDER: There are still a significant number of
12 televisions certified to the Energy Commission that do not
13 comply with the Tier 2 standards. The last time I looked I
14 think it was about 75 percent are qualifying for Tier 2
15 today and 25 percent are still - that's a rough figure -
16 still not complying with Tier 2. And in terms of sales, I
17 have no idea what the sales are for any of these models.

18 CHAIR WEISENMILLER: Right, sure. Okay. Thank you.

19 MR. RIDER: Okay.

20 CHAIR WEISENMILLER: Thanks again.

21 MR. FUGATE: Thank you.

22 MS. KOROSSEC: Before we move on to our next -- oh,
23 okay.

24 MR. KAVALEC: About the TV standards, I just wanted
25 to mention that there are a variety of studies out there

1 that derive hours of daily operation. And what I've seen,
2 we are sort of at the lower end with seven hours and the
3 standards folks are sort of at the high end. What gave us
4 confidence in our number is that we found basically the same
5 number in our RASS as we did with the EIA survey and the EIA
6 is the most recent survey. But that said, we are happy to
7 sit down with the standards folks and talk about this some
8 more and see if we can agree on a number between the both of
9 us to use and we can adjust our forecast results if we need
10 to.

11 CHAIR WEISENMILLER: That would be great. I'm
12 certainly encouraged the staffs will work together on this
13 in getting a resolution. That would be great. Thanks,
14 Chris.

15 MS. KOROSSEC: Before we move on, we did have a
16 question on one of the phone lines for our last presenter, I
17 believe that was for Analisa. Is our line open? Okay, can
18 you go ahead and ask your question?

19 (Caller on phone line is barely audible.)

20 Okay, we're not hearing you. Are you on the phone?

21 (No response.)

22 All right, I'm sorry. We are not able to hear you.
23 So we're going to go ahead and move on and maybe you can try
24 again after lunch. Our next presenter is Asish Gautum from
25 our Demand Analysis Office to talk about self-generation in

1 the forecast.

2 MR. GAUTUM: Good morning, everyone. My name is
3 Asish Gautum and I will be going over the self-generation
4 forecast.

5 First, I would like to go over the different data
6 sources we used to build up the private supply forecast.
7 First, we look at all the incentive program data that's out
8 there. This includes the Commission's ERP program, the New
9 Solar Homes Program, the CSI, and these three programs fund
10 the photovoltaics. We also track data from the SGIP program
11 and similar programs offered by POU's, mainly focusing on
12 photovoltaics. We also look at our QFER database for large
13 industrial and commercial users reporting to us. The
14 reporting size threshold for QFER is one megawatt so the
15 reports under QFER tend to be primarily in the large
16 industrial mining and refinery sectors. Finally, the peak
17 and energy impacts are estimated based on program evaluation
18 reports of the CSI and SGIP programs.

19 Some of the changes between the preliminary and
20 revised forecasts, we corrected for some data entry errors
21 in the QFER reporting, updated program data for the CSI, New
22 Solar Homes Program, the new Solar Hot Water Program and new
23 data from the POU's. We also updated our capacity and peak
24 factors from the CSI and SGIP evaluation reports. These two
25 reports were done after the preliminary forecast so we

1 weren't able to incorporate them.

2 Next I would like to go over some of how the
3 forecast is actually conducted. For the residential we have
4 a new predictive model for photovoltaic and solar hot water.
5 It's based on work done by NREL from the solar DS deployment
6 model. Photovoltaic system costs and performance data come
7 from EIA. Solar hot water system cost and performance come
8 from a study undertaken by the PUC when they were
9 establishing the Solar Hot Water Program.

10 The residential model works mainly through
11 calculating payback periods and applying it to a diffusion
12 model. So we have different results by the demand cases
13 because of differences in fuel rates, the number of homes.

14 For the non-residential sector we weren't able to
15 complete a predictive model and so we are using a trend
16 analysis, which is similar to what we did in the last
17 report. One difference between the 2009 and the revised
18 forecast is that in the 2009 forecast we tried to calculate
19 the average rate of additions and in the preliminary and
20 revised forecasts, because we have a little bit longer
21 historic data, we calculated growth rates and grew installed
22 capacity as of 2010 by these growth rates and then applied
23 capacity and peak factors from CSI and SGIP evaluation
24 reports to get the energy and peak impacts.

25 For the rest of my slides I will be focusing on the

1 installed PV capacity and we will be going over the non-PV
2 and PV energy and peak impacts in the main presentation for
3 each of the planning areas.

4 This graph is the statewide PV capacity as compiled
5 for the different program data. The 2009 report is slightly
6 above all three cases in their early part because we had
7 higher growth rates relying on the earlier part of the
8 program and during the early 2009 report. The low case is
9 above the 2009 forecast by 2016 and then the mid case is
10 above the 2009 report after 2018, as well as the high case.
11 In 2022 the statewide PV capacity was estimated to be just
12 over 3100 megawatts in the low demand case. In the mid
13 demand case it was estimated to be about 2800 megawatts and
14 just under 2600 megawatts in the high demand case.

15 Next we have a similar graph for PG&E. The 2009
16 report has higher stock in the early part of the forecast
17 due to the higher growth rates in the early part of the
18 program when we finished the 2009 report. The growth rates
19 were the residential housing counts and so residential
20 housing counts and electricity prices. In the low demand we
21 have higher prices and so we have higher adoption. And the
22 high case has lower prices and so we have lower adoption.
23 By 2022 for PG&E we expect just about 1400 megawatts in the
24 low case and just under 1300 megawatts in the mid case and
25 just under 1200 megawatts in the high case. And all three

1 cases are above the 2009 report by 2020.

2 For Edison, again all three cases are above the 2009
3 report. This has to do with revisions and updates to the
4 CSI data. By 2022 we are expecting 1400 megawatts in the
5 low case and just under 1300 megawatts in the mid and 1180
6 megawatts in the high demand case.

7 For SDG&E, just like Edison, all three cases are
8 above the 2009 report and it has to do with the higher rate
9 of growth during the update. In the mid case we expect 300
10 megawatts, the low case has just under 350 megawatts and the
11 high case just about 275 megawatts.

12 Similar for SMUD, all three cases are above the 2009
13 report. One of the reasons has to do with better reporting
14 from each of the POU's to the Commission. The reporting
15 didn't start until after the 2009 forecast was done so the
16 2009 forecast was based off a much lower rate of growth that
17 we have seen historically. By 2022 we expect just over 80
18 megawatts in the low demand case and just about under 70
19 megawatts for the other two cases.

20 Next for LADWP, while we were reviewing the 2009
21 forecast we discovered some data entry errors and so
22 correcting for that all three cases are below the 2009
23 report, just under 150 megawatts. The residential sector
24 doesn't respond as much because residential electricity
25 rates are pretty close to each other and the housing stock

1 is not that different from one another.

2 I was trying to look at why the PG&E growth rates
3 were higher in the 2009 report and at least one of the
4 reasons we found was that there has been a higher rate of
5 cancellation in PG&E than the other two utilities. So I
6 think that kind of explains why PG&E had a higher growth in
7 the 2009 report than in what we have today.

8 As far as next steps, we want to finish work on the
9 non-residential sector predictive models. We had a workshop
10 last week on CHP and one of the challenges has been to get a
11 good idea of the installed capacity of CHP and we have a
12 much better database from the ICF report and we were trying
13 to align our data with what ICF has managed to report
14 regarding CHP capacity. Other developments would be to
15 monitor for progress toward the goals in CHP procurement per
16 the CHP settlement and also the SGIP program, which has now
17 allowed combustion-based technologies to receive funding.
18 And so we will be monitoring for activity in that program as
19 well as monitoring programs for certification to the
20 Commission for the AB 1613 feed-in tariff for CHP.

21 And that is my presentation so if there are any
22 questions.

23 COMMISSIONER PETERMAN: Thank you very much for that
24 presentation. I think those are good next steps and
25 particularly the ones pertaining to CHP. It was a very good

1 workshop and it started to lay the groundwork for what we
2 are going to be doing over the next year or two in terms of
3 further refining and understanding the potential for CHP in
4 the state.

5 I did have one question about the forecast for PV
6 adoption. So if we continue to see PV prices decline over
7 time and at the same time we see an increase in revenue
8 requirements and retail rates for the utilities there could
9 be the opportunity for this tipping point where you will see
10 a much greater adoption of PV as it becomes more economic
11 for homeowners. And so in the assumptions for each utility
12 in terms of PV adoption, is that potential embedded in that?
13 Is that going to change the adoption rate?

14 MR. GAUTUM: Yes. We do have some scenarios on PV
15 installed costs. For this forecast we used the mid case
16 from EIA but we could do other cases and we did have the
17 scenarios on the electricity rates. So in general, yeah,
18 the higher the rates, the more the savings and the lower
19 costs tend to result in higher adoption.

20 COMMISSIONER PETERMAN: Well, I would appreciate
21 when the utilities comment on their forecast if they can
22 comment in particular on that issue, potential for that
23 tipping point in the next five to ten years and whether they
24 think these forecasts appropriately reflect that. Thank
25 you.

1 MR. GAUTUM: Thank you.

2 MS. KOROSEC: All right, we have come to our lunch
3 break. So we will reconvene at one o'clock and talk about
4 the individual utility forecasts. Thank you.

5 (Lunch recess at 12:00 p.m. until 1:00 p.m.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 A F T E R N O O N S E S S I O N

2 1:06 P.M.

3 MS. KOROSSEC: All right, we're going to go ahead and
4 get started again. We are starting off this afternoon with
5 Chris Kavalec to talk about staff forecast results for SDG&E
6 planning area.

7 MR. KAVALEC: Okay, we are starting out with the San
8 Diego Gas and Electric electricity forecast. And we find
9 that in general growth in electricity demand and peak is
10 highest in the San Diego area among the five major planning
11 areas we are going to talk about today. There are three
12 main reasons for that. We have higher population growth in
13 San Diego versus the other five planning areas. Economy.com
14 is telling us that there is very low out-migration in San
15 Diego County with very health in-migration. Employment is
16 strong, especially for skilled employees in San Diego and
17 manufacturing growth is relatively strong, especially in
18 construction and food and beverage sectors in San Diego.

19 Some adders and subtractors to the forecast listed
20 in the next two bullets, climate change, photovoltaic, TV
21 standards and EVs. And percentagewise the biggest impact
22 comes from PV adoption and its impact on peak, three to four
23 percent.

24 Here are the three scenarios versus the 2009
25 forecast. And we see the high scenario going above the 2009

1 forecast by 2015, even though it's starting at a lower
2 point, and the mid case scenario matches the 2009 forecast
3 by 2018. Now, comparing the three forecasts, the two mid
4 cases and the 2009 forecast, we end up basically in the same
5 place by 2020 for all three forecasts, higher growth in the
6 preliminary and the revised forecasts versus 2009.

7 Roughly the same story for electricity sales, a
8 little bit lower growth rate because of the increase in
9 self-generation. The three forecasts again, a little bit
10 lower than the 2009 forecast because we have more self-
11 generation versus the 2009 forecast. The revised forecast
12 is a little bit above the mid by the end of the forecast
13 period. The revised forecast a little above the preliminary
14 mid by the end of the forecast period because of lightly
15 more self-generation.

16 For peak demand we are starting at a lower point
17 versus the 2009 forecast but we have faster growth in the
18 mid and high cases because of climate change and relatively
19 high residential growth. Since residential growth or
20 residential use is peak year, when you have an increase in
21 residential growth it has more than a disproportionate
22 effect - more than proportionate effect on peak demand. And
23 comparing the mid cases again, the latest mid case is well
24 above the two previous forecasts by 2020 and that's because
25 of increase in climate change effects that I talked about

1 this morning and also because we made some modifications,
2 some corrections to the way our residential model develops
3 new versus existing housing. And the upshot of all of that
4 - I won't go into the technical details - but you end up
5 with more residential consumption. If any of the
6 forecasters are interested I can provide you details of that
7 change.

8 We use the idea of a load factor to examine whether
9 our load is getting peak year overall. So a low load factor
10 means that the peak is rising relative to average hourly
11 usage. So in general a low load factor is not good because
12 it means less efficient use of resources. For San Diego you
13 will note the general downward trend, occurring mainly
14 because of migration to inland in San Diego County, thus
15 more air conditioning. The revised forecast continues that
16 trend basically out until the very end, when you have more
17 and more electric vehicles that increase the load factor.
18 And the reason for that is that electric vehicles have an
19 impact on consumption/sales but based on our assumptions not
20 much impact on peak. So therefore the load factor goes up.

21 Per capita consumption, the new forecast versus the
22 2009 forecast. Again we see the electric vehicles pushing
23 up the per capita consumption towards the end of the
24 forecast period and remaining or continuing in an increasing
25 trend in the high case because of all the industrial growth.

1 Again here you see the adjustment we make, or the impact
2 that the adjustment we made on population has on per capita
3 consumption. We're basically in 2011 increasing per capita
4 consumption by around 300 kilowatt-hours per year.

5 In terms of the individual sectors, the fastest
6 growth - as I alluded to earlier - is in the residential
7 sector followed by commercial and industrial among the three
8 major sectors. Each of these growth rates is highest among
9 the five planning areas for these sectors. Residential
10 consumption growth is faster compared to previous forecasts,
11 as I mentioned, with the adjustment we made to the
12 residential end use model and the increased climate change
13 impacts. And that has a more than proportionate effect on
14 peak growth. Very high growth in the industrial sector as
15 in the other planning areas in the high demand case, which
16 is a key reason why the high is above the mid, comes from
17 the industrial growth. And as in the statewide case,
18 average annual growth for agricultural and
19 TCU/streetlighting sectors is a little bit less than one
20 percent.

21 A couple of key inputs. Household population,
22 because of the adjustment based on the 2010 census, we lose
23 about 170,000 people in SDG&E's planning area in 2011. But,
24 again, the growth rates are roughly the same between the
25 preliminary and revised forecasts and a little bit higher

1 than the 2009 forecast. Income per household, roughly the
2 same growth rates in the mid and the high cases versus the
3 2009 forecast. On the other hand, commercial floor space
4 for all three scenarios is growing at a faster rate versus
5 the 2009 forecast and this is due to the impact of fast
6 growth in employment projected for San Diego County.

7 Now, comparing it to the econometric forecast, by
8 2022 for sales - again, the econometric forecast means the
9 commercial, residential and industrial end use model results
10 are replaced by the econometric results - unlike other
11 planning areas, the econometric forecast ends up a little
12 bit lower than the end use forecast for San Diego, almost
13 two percent in 2022. For peak it's a lot closer, a little
14 bit less than one percent by 2022. For efficiency impacts,
15 we are projecting additional gigawatt-hour savings of around
16 2500 between 2011 and 2022 from codes and standards,
17 efficiency programs and price and market effects.

18 Self-generation peak impacts, Asish gave you the
19 projected PV capacities for San Diego and that contributes
20 to the total self-generation peak impacts to the tune of
21 about 100 megawatts between 2011 and 2022. You see the sort
22 of dip there after 2016 or the flattening after 2016 and
23 that's happening because of the expiration of the federal
24 tax credit for self-generation.

25 And finally, electric vehicles, I show the three

1 scenarios from the revised forecast here, high, mid and low.
2 And also shown there is the mid case from the preliminary
3 forecast, which came from the Fuels Office. So you will see
4 that between the two mid cases, the preliminary and the mid,
5 we are losing about 120 gigawatt-hours or so for electric
6 vehicles.

7 So before I ask San Diego if they have any comments
8 I will ask the commissioners if they have any questions or
9 comments.

10 CHAIR WEISENMILLER: Yes. Chris, I just wanted to
11 ask in terms of how did you go about disaggregating the EV
12 numbers across the service territories?

13 MR. KAVALEC: That was just taking the DMV numbers

14 CHAIR WEISENMILLER: Okay.

15 MR. KAVALEC: For total vehicles by planning area.

16 CHAIR WEISENMILLER: Okay. Obviously, SDG&E is
17 trying to do a lot in the EV space so it would be
18 interesting to see if they have suggestions on how to
19 capture that.

20 MR. KAVALEC: Yeah, and I agree we need to do
21 something a little bit more sophisticated in terms of
22 distributing the electric vehicles among the planning areas.

23 Okay, so San Diego, do you guys have any comments?

24 MR. VONDER: Thank you, Chris and commissioners. I
25 am Tim Vonder with San Diego Gas and Electric in our

1 forecasting area. And my compadre from the gas side, Herb
2 Emmrich, is with me today. I'm going to comment on electric
3 and Herb might comment on gas.

4 This has been a very good and worthwhile forecasting
5 effort. In short, we really find nothing in staff's
6 forecast of our service territory that gives us major
7 problems. We really have no negative criticisms about the
8 forecast. It seems to be very reasonable. But there are a
9 few areas that I would like to comment on that could use
10 some tuning up or improvements, either between now and the
11 final forecast or maybe as we get ready for the next IEPR
12 cycle. Just three areas.

13 First is the EV load. I think, as we know, Chris
14 has revised from the preliminary the EV load and actually
15 brought it down a little and then also slowed down the
16 acceptance and the implementation of electric vehicles in
17 the state and in our service territory. But we did, you
18 know, include EVs in our forecast when we filed our forecast
19 in April of last year. And at that time 2011 was a
20 forecast. And as it turns out we recognize now that we were
21 very optimistic about EVs in our service territory. We are
22 kind of a proud service territory, especially when it comes
23 to new technologies. And so when Chris decided to lower his
24 forecast we felt, you know, comfortable with that.

25 But in taking a look at some anecdotal evidence that

1 will turn into factual and published evidence in a while, we
2 noticed that in 2011 the rate of purchasing electric
3 vehicles in San Diego County is higher than what is
4 currently assumed in staff's forecast. In looking at their
5 forecast detail for electric vehicles we find that when
6 Chris worked with the information that he had at hand and
7 did the very best he could he allocated 10 percent of the
8 total EV load to our service territory, like he said,
9 following the number of cars that are in San Diego County.

10 Well, this anecdotal evidence that we see now states
11 that the number of rebates that people receive for
12 purchasing an electric vehicle in the State of California
13 from the State of California, 20 percent of those rebates
14 for 2011 went to San Diego County. So if 10 percent of the
15 load in Chris' allocation of EV load went to our service
16 territory but yet it looks like 20 percent of the rebates
17 are going to San Diego County, then it kind of gives us an
18 indication that maybe the acceptance rate and implementation
19 rate in San Diego is a little higher than what's in the
20 forecast. So, I mean, we don't have any really hard
21 evidence yet to help improve the forecast but it's just kind
22 of an observation at this time, that it could use some
23 tuning up and we would be happy to help if we can.

24 The other thing that I wanted to comment on is
25 climate change. San Diego is kind of unique. We are a

1 coastal town. And as staff as recognized, the weather in
2 San Diego County when they looked at it over the recent
3 history and compared it to the long-term history actually
4 the overall weather in San Diego County is getting cooler
5 rather than warmer. And Chris tells me that they didn't
6 make an upward adjustment in our forecast in the energy
7 portion to reflect climate change because we are getting
8 cooler but in the demand section of the forecast there is an
9 increase. And I'm not going to say that that wasn't
10 justified or isn't correct because it very well may be
11 correct.

12 But it does point out that we have to work a little
13 harder to try to understand how climate change can affect
14 peak days because, you know, peak days only happen once a
15 year and there may be different weather conditions
16 historically around peak days that tell a different story
17 than just overall annual weather. So we can see that, you
18 know, it's quite possible for us to be getting cooler
19 generally speaking but maybe on peak days there is a climate
20 effect. And I think that between now and the next IEPR cycle
21 we should probably take a more careful look at that to see
22 if there is something going on there that we haven't noticed
23 or understand.

24 The last comment I would like to make has to do with
25 how to deal with the concept of uncommitted energy

1 efficiency. Uncommitted energy efficiency is not included
2 in staff's forecast and I can well understand why. But yet
3 it is something that when we get to the long-term resource
4 planning phase it does become relevant and it does become
5 important. And I guess one way of pointing that out would
6 be to take a look at his graphs 16 and 17, I think, that has
7 to do with comparing the econometric model to the end use
8 model for our service territory.

9 And you would notice there that the end use model
10 projects a higher consumption and a higher peak than the
11 econometric model. Well, I don't know if this is a hundred
12 percent correct but I'm sure it's buried in there someplace
13 that, in the end use model you have no uncommitted energy
14 efficiency but in the econometric it's buried in the history
15 someplace, as Chris pointed out. So in the projection, you
16 know, all of energy efficiency is included. So if energy is
17 included in the projection from the econometric model in
18 those out years from 2013 and beyond you would get a lower
19 forecast. Whereas the end use model doesn't include it and
20 you would probably have a higher forecast.

21 So I can't say that that entire difference is due to
22 something of that nature but it's in there someplace. And
23 as we go to the LTPP process we need to have a good
24 understanding of what that uncommitted energy efficiency
25 savings really are. So I would like to suggest that as part

1 of the IEPR demand forecasting process that we at least make
2 an attempt to identify the portion of uncommitted energy
3 efficiency that can be considered in the long-term planning
4 process. And that would be really that portion of the
5 uncommitted that could be seen as being economic, feasible
6 and reliable, which suggests that as they are developing
7 uncommitted energy efficiency goals and targets there is
8 some subset of that amount, that total amount, in the goal
9 and target that would be considered economic, feasible and
10 reliable. And if that amount could be separated out and
11 then maybe not added to the end use forecast but at least
12 displayed in the table as going forward together with the
13 forecast to the next stage of the process I think that would
14 help a lot.

15 CHAIR WEISENMILLER: I don't know. I think your
16 hypothesis on the difference between the two models is
17 probably wrong, but it's something we need to dig into. My
18 understanding from the PUC is they are seeing progressively
19 less benefits from energy efficiency. Actually, that was
20 what Big Bold was supposed to deal with. But certainly the
21 Navigant study is again echoing this notion that we are
22 getting to declining returns from the conservation programs.
23 And so that certainly influences the role of energy
24 efficiency. But if that's true, that we're getting less
25 bang for our buck, then presumably that would not support

1 the econometric picking up that, impressive amounts.

2 MR. VONDER: Right. Except that it's in the
3 history.

4 CHAIR WEISENMILLER: Well, but if the history is
5 much bigger savings, say, in 2005 than 2010 then I would
6 think that, you know, again you are not going to be
7 capturing those effects. Or if you are you are going to be
8 fooling yourself.

9 (Another participant asks to be recognized.)

10 Go ahead.

11 THE REPORTER: You will need to speak into the
12 microphone.

13 CHAIR WEISENMILLER: Come up to the microphone,
14 sure.

15 MS. MACKIN: Hi. My name is Dina Mackin and I am
16 with the Energy Division at CPUC. I have been the manager
17 of the potential study process that is due to complete in
18 the next couple of weeks.

19 And I wanted to clarify the point about what we're
20 seeing in the incremental market potential, which is that
21 while we have seen the above-code program potential to be
22 decreasing, a lot of these decreases are attributed to the
23 fact that a significant portion of the energy efficiency
24 savings has been adopted by code. So when you look at the
25 combination of codes and standards with above-code IOU

1 program market potential it actually is continuing to
2 increase. So just to clarify that point and to also say
3 that this data set will be imminently available for us to
4 review and consider for the incremental uncommitted.

5 CHAIR WEISENMILLER: That's great. Thanks for the
6 clarification and certainly we would welcome the submittal
7 of that in our record so we would try to build that into the
8 forecast.

9 MS. MACKIN: Great.

10 CHAIR WEISENMILLER: Thanks.

11 Herb?

12 MR. EMMRICH: Commissioners, thank you very much
13 for giving us the opportunity to present our views. We have
14 reviewed the forecast by staff. It's a very good and
15 extensive effort. We appreciate the fact that we were able
16 to participate.

17 Generally the forecast for SoCal Gas and San Diego
18 are good forecasts, especially in the long term. But as in
19 every year when you come out with the forecast we believe
20 that you underestimate the energy efficiency savings. And I
21 think it's because the staff assumes only the three year
22 program cycle that is actually approved. And we continue to
23 assume that the funding for energy efficiency will not go
24 away and I think the PUC will confirm that. This is not a
25 program that ends after three years, it will go on forever

1 and ever and ever.

2 The other item, the long-term gas price forecast, we
3 are okay with that. We do believe in the short term that
4 events have overtaken the forecast. The gas prices are two-
5 fifty, two-sixty a million BTU at the California border.
6 The staff report has much higher prices for 2011, 2012 and
7 2013. They may look at that to revise that. We are in the
8 process of developing the California gas support for all of
9 California with PG&E, Edison, San Diego, Southwest Gas and
10 Long Beach. So we will have a new forecast out on gas
11 demand for the state by July 1st.

12 The one issue I brought up several meetings ago is
13 the IEUS survey, which is still stuck on dead center. It's
14 more than two or three years late now and we have no
15 movement. So whatever you can do to help that process along
16 and we can actually go out there and find out what kind of
17 devices are out there that can maybe be used to reduce
18 energy demand. And if we have a good survey with good
19 information we can target our energy efficiency programs
20 better. Thank you.

21 CHAIR WEISENMILLER: Thank you. I guess the one
22 question I have for you as well as for Edison, obviously the
23 South Coast is talking about basically pushing combustion
24 out of the basin. And, you know, I assume that could affect
25 gas sales and also at the same time flip electric sales.

1 Now, that's obviously I'd say more in the next decade But
2 how do you consider that in your forecast?

3 MR. EMMRICH: We look at that. But all the measures
4 that they are advocating are not cost effective by a large
5 stretch of the imagination. For instance, residential water
6 heating, to turn that into electric would be like a million
7 dollars a ton of CO2 and NOx. That's not cost effective. So
8 my personal belief is that will not happen. You know, there
9 will be tighter energy efficiency standards by the
10 Commission and the stationary sources are a very small
11 portion of the problem, it's mainly the mobile sources that
12 have to be controlled. And I think California is moving in
13 that direction.

14 CHAIR WEISENMILLER: And I guess, Chris, I'm just
15 assuming our baseline forecast doesn't consider the sort of
16 South Coast push at all?

17 MR. KAVALEC: No.

18 CHAIR WEISENMILLER: Okay.

19 MR. KAVALEC: It's just the end user side.

20 CHAIR WEISENMILLER: Yeah, just to get it on the
21 record.

22 And do you have a CNG forecast on the transportation
23 sector?

24 MR. EMMRICH: Yes, we do.

25 CHAIR WEISENMILLER: I don't know if that's been

1 submitted to the record here.

2 MR. KAVALEC: When you filed your forms did you
3 submit the vehicle forecast with that?

4 MR. EMMRICH: I assume so. But I can check to make
5 sure.

6 CHAIR WEISENMILLER: Yes

7 MR. EMMRICH: Because it comes from a different
8 group, they actually do their own forecast, the ones that do
9 the marketing for NGVs.

10 CHAIR WEISENMILLER: Sure. And if there is a recent
11 one that would be good to get that in the record.

12 MR. EMMRICH: All right.

13 CHAIR WEISENMILLER: Thanks.

14 MR. EMMRICH: Thank you very much.

15 MR. KAVALEC: Just a couple of quick responses to
16 the issues Tim raised. In terms of the amount of electric
17 vehicles currently in San Diego, I agree that the method I
18 used was sort of a blunt instrument, to base it on the total
19 number of vehicles in San Diego. But I believe the DMV
20 records actually break out by fuel type. So what we could
21 do is within the planning areas we could start out with the
22 actual number of electric vehicles registered in each
23 planning area so that we are at least starting at the right
24 point.

25 You made a good point about the climate change-

1 induced energy increases versus peak. What we have
2 typically done is to increase the number of cooling degree
3 days during the forecast period by the ratio of cooling
4 degree days, average cooling degree days in the last 12
5 years versus the last 30 years. So if cooling degree days
6 have been increasing in the last 12 years then you have an
7 increase in energy from climate change. However, for San
8 Diego it's actually been decreasing, as Tim mentioned. So
9 there was no adjustment to energy for climate change.

10 However, in the future what I think would be better
11 to do would be to use the econometric model directly then
12 include degree days as an explanatory variable, estimate
13 changes in degree days in the scenarios provided by Scripps,
14 and then estimate energy effects using the econometric
15 modeling instead of the way that we're doing it now.

16 In terms of what is being captured in the
17 econometric forecast, as Commissioner Weisenmiller alluded
18 to, it's really picking up whatever current trend you have.
19 So it's going to miss - if there's going to be a sharp
20 increase in efficiency impacts in the future it's not going
21 to capture that or if there is going to be a sharp drop off
22 in the future it's not going to capture that.

23 Okay, we will now move on to our friends at Southern
24 California Edison. In general we are sort of the opposite
25 of San Diego, we have the lowest projected rate of growth

1 between 2011 and 2022 for consumption, sales and peak. And
2 that's happening because of relatively low manufacturing and
3 agricultural growth, the lowest employment and therefore
4 commercial floor space growth among the three IOUs, and the
5 peak growth is higher than sales or consumption growth
6 because of relatively high residential growth, which
7 increases the peak more than proportionately. Adders and
8 subtractors, again the largest percentage effect again being
9 the PV adoption and its impact on the peak, 170 to 210
10 megawatts by the end of the forecast period.

11 The three new forecasts versus the 2009 forecast, in
12 our high case we are just about reaching the 2009 forecast
13 by 2020, although we're starting at a significantly lower
14 point, as you can see. Comparing the two mid cases and the
15 2009 forecast, we are lower than in the 2009 forecast and
16 the rate of growth is slightly lower because of the
17 increased savings incorporated into the forecast.

18 Lower rates of growth for sales relative to
19 consumption because of the increase in self-generation
20 versus the 2009 forecast. Same situation for the three
21 forecasts as we saw for consumption, although the spread
22 between the preliminary and the revised forecast is a little
23 bit bigger because for the revised forecast we have more
24 self-generation for Southern California Edison.

25 Peak demand is growing faster than the 2009 forecast

1 in the high and mid scenarios and the high scenario
2 basically reaching the 2009 forecast by 2020. Unlike
3 consumption and sales, we have peak demand growing at a
4 faster rate in the preliminary forecast versus the revised
5 forecast and that's because of the additional climate change
6 impacts.

7 Load factors, like we saw in San Diego, basically in
8 decline as we've had more growth inland in the Edison
9 service territory and that trend continues in all three of
10 these forecasts. You can see that in 2011 there how the
11 dark blue line is above the other two and that's because
12 2011 was a relatively cool year so we had a relatively high
13 load factor for that year. But it quickly goes back down to
14 the long-term trend, although at the very end in the
15 preliminary and revised forecasts there is a leveling off or
16 a little bit of an increase because of the impact of
17 electric vehicles.

18 Per capita consumption, the little nudge we get from
19 electric vehicles towards the end of the forecast period in
20 the mid and the low cases. Again the impact of downward
21 adjustment in population, around 300 kilowatt-hours higher
22 in terms of per capita consumption in 2011 versus the
23 previous two forecasts.

24 And the individual sector forecasts, highest growth
25 again in the residential sector followed by commercial - and

1 this is the mid case for the revised forecast - and
2 basically flat growth in the industrial sector. I mentioned
3 earlier, relatively high residential consumption growth so
4 you get relatively high peak versus consumption growth. The
5 manufacturing sector is growing at the lowest rate among the
6 three IOUs and so total energy use in the manufacturing
7 sector is actually declining so that's contributing to lower
8 growth in the mid and the low cases versus the other
9 planning areas. In the agricultural sector, unlike the San
10 Diego forecast, the growth in agricultural energy use is
11 expected to be relatively flat with the other sectors
12 growing at around the rate of population.

13 The population adjustment means we subtract around
14 600,000 folks in 2011 from the Edison service territory but,
15 again, the same rate of growth is in the preliminary
16 forecast for household population. By the way, I should
17 probably explain that. It's household population rather
18 than total population because it does not include the group
19 quarters institutionalized population, it's people that are
20 living in households.

21 Income growth is higher than in the 2009 forecast
22 and you can see Global Insight brought their income
23 projections down to the point in the high case where it's
24 basically equal to the mid case by the end of the forecast
25 period.

1 Unlike San Diego, the rate of growth for commercial
2 floor space fueled by employment is lower in all three
3 scenarios versus the 2009 forecast, which is why we have
4 lower commercial energy forecast compared to San Diego and
5 the other planning areas.

6 Now, when we get to our comparison with econometric
7 we see that the econometric is almost three percent higher
8 in 2022, although in the peak case we are much closer. So
9 this may be a little bit of a cause for concern. It's a
10 relatively high spread so, you know, it's possible we may
11 want to use the econometric version of the Edison mid case,
12 that's a possibility and we can talk about that, if we want
13 to be risk averse in our forecast. But I should say, you
14 know, that we as staff recommend using the end use results
15 because we like the ability to model our assumptions
16 explicitly within the model for efficiency and self-
17 generation. But I think the econometric forecasts are
18 equally good and valid forecasts.

19 Efficiency impacts increasing from 9.5 to 10.5
20 thousand gigawatt-hours between 2011 and 2022 from our codes
21 and standards programs and price and market effects. Peak
22 impacts from self-generation fueled by an increase from
23 photovoltaic adoption by 300 to 450 megawatts, depending on
24 the scenario, between 2011 and 2022. Much higher peak
25 impacts you will notice than in 2009.

1 And here is the electric vehicle forecast. And
2 again I've put in the red there the mid case for the
3 preliminary forecast so there is a drop off of around 700
4 gigawatt-hours for Edison because of a lower electric
5 vehicle forecast versus the preliminary.

6 With that I will ask for questions and comments.

7 CHAIR WEISENMILLER: And again I'm assuming the EV
8 forecast was just per capita so it would be interesting to
9 see if Edison has better data on that.

10 MR. KAVALEC: I'm sorry, it was -

11 CHAIR WEISENMILLER: Again you've talked about how
12 you just did a proportionate allocation -

13 MR. KAVALEC: Oh, right.

14 CHAIR WEISENMILLER: - of the EV forecast. And I
15 would be sort of interested if Edison has any better data on
16 that. But it does seem like part of what is driving it -
17 and I assume the econ-demo is worse there than in San Diego.
18 So again that would be another question for Edison.

19 MR. KAVALEC: Yes. Okay, then I will ask Edison,
20 Sharim, to tell us how strongly he agrees with our forecast.

21 MR. CHAUDHURY: My name is Sharim Chaudhury and I am
22 with Southern California Edison. Thank you, commissioners,
23 and thanks, Chris, for the opportunity to provide comments
24 on your forecast.

25 Earlier it was pointed out that the Direct Access

1 Working Group, or DAWG, the importance of that, and I cannot
2 emphasize enough how useful it has been as a collaborative
3 process for us to understand sort of unaligned (ph)
4 assumptions in our forecasts. Now, with that I have a few
5 comments that I would like to make on this forecast.

6 Starting with, let's talk about sort of the plug-in
7 PEV electric vehicle forecast. So our experts basically
8 think that the revised forecast is fairly low. If you look
9 at the sort of mid case number versus the red line, which is
10 their preliminary forecast, by 2017 the revised forecast is
11 down by over 80 percent. And we think that the ramp-up
12 rate, Edison believes, is kind of unrealistic from 2017 to
13 get to 2020, that high level. So what Edison thinks is that
14 at a minimum - apparently CARB has model that is called
15 emission factors model. It includes some numbers about
16 number of miles traveled per year, you know, by these
17 vehicles and also total numbers of cars and trucks. So at a
18 minimum maybe CEC can look into that, whether that could be
19 an alternative.

20 Also underlying the revised forecast the assumption
21 is that plug-in electric hybrid vehicles will drive only 36
22 percent of the miles with the electricity taken from the
23 grid. And Edison believes that's a pretty low number.
24 Recently Chevy came out with their Volt customers, they are
25 saying that they drive 67 percent of their vehicle miles are

1 driven by electricity from the grid. So at least we can use
2 that number as opposed to 36 percent. And also the ramp-up,
3 you know, currently CEC revised forecast assumes two
4 percent. I think if you could look into that. Edison
5 assumes about twice as much, the ramp rate.

6 MR. KAVALEC: I'm sorry, Sharim. What ramp rate are
7 you referring to?

8 MR. CHAUDHURY: The electric vehicle penetration.

9 MR. KAVALEC: Is two percent in your forecast?

10 MR. CHAUDHURY: This is two percent underlying in
11 the revised forecast.

12 MR. KAVALEC: Okay.

13 MR. CHAUDHURY: And we have about four percent.

14 MR. KAVALEC: All right, okay.

15 MR. CHAUDHURY: So this is our comment on the
16 electric vehicle.

17 Now I want to talk a little bit about a group of
18 electric technologies, what I call electric goods and people
19 movement. Okay, what I mean by that is the port
20 electrification, you know, freight rail, light rail, truck
21 stop electrification and truck refrigeration units at the
22 warehouses. Now, Edison has a forecast that included now a
23 load forecast and in the CPUC (sic) forecast there is no
24 load associated with this group of programs. And we had
25 discussion with CEC staff - and granted our forecast is

1 based on 2008 numbers which are a little dated - and we
2 agreed that some of the load forecast we assume for the
3 ports, freight, rail and truck stops could be lowered given
4 the current reality.

5 However, on the other hand, our forecast does not
6 include the electric light rail development that came about
7 from the Measure R that passed a couple of years ago. And
8 based on that there are currently twelve new systems that
9 are in development in the LA area. So we feel that maybe
10 clearly there is some load growth associated with this group
11 of programs that should be included in the forecast.

12 Now, with respect to sort of overall forecast, Chris
13 mentioned that our service territory is growing both on the
14 peak and energy basis the slowest compared to others. And
15 Chris also mentioned that part of the reason is that the
16 industrial sector and the agricultural sector is growing,
17 you know -

18 MR. KAVALEC: Relatively flat.

19 MR. CHAUDHURY: Flat or even negative growth in the
20 industrial. Now, when we look at our sort of customer class
21 the industrial sector comprises about nine percent of our
22 total load and agricultural sector is very small, like one
23 to three percent. So based on that it is not clear why we
24 are so much different from the other service territories in
25 terms of future growth. When we compare our retail growth

1 with Chris' forecast over the 2012 to 2022 period, our
2 retail sales forecast is higher. And if you break it up
3 into sort of two periods, 2012 through 2017 versus 2017 to
4 2022, our growth is higher in the second five year period.
5 When you compare our peak load for the 2012 to 2017 period,
6 that six year period, our peak load growth is right on the
7 money, it's 1.6 percent. But we are growing higher in the
8 next, 2017 through 2022, period. Chris, you have like 1.3
9 percent and we have 1.8 percent.

10 Now, when we compare sort of the customer class
11 bases, our customer class breakdown is based on our retail
12 customers, which is bundled plus direct access. And, Chris,
13 you have it on a planning area basis so it's hard to compare
14 on a level basis. But if we compare the growth rate we see
15 that our residential sector is higher than the CEC forecast,
16 particularly in 2012 through 2017 period. And if you look at
17 that our higher number underlying the PV load growth
18 explained a large part of our higher growth forecast.

19 Now, I think the biggest divergence comes in the
20 non-residential and by non-residential I'm including
21 commercial, industrial and the government sector. For 2012
22 through 2017 period it is pretty comparable, 1.2 percent,
23 Chris, for you versus 1.3 percent for us. But what is sort
24 of a quite difference is that 2017 through 2022 Chris is
25 forecasting an almost halving of the growth whereas we are

1 projecting a doubling of the growth, that's the main
2 difference. And we are scratching our head a little bit.
3 But in our model, our econometric model, you know, the
4 commercial sector is largely tied to the residential sector.
5 The number of commercial customers depends on the number of
6 residential customers and the commercial load growth depends
7 on the employment in the commercial sector. And it's an
8 econometric model. So I like Chris' econometric forecast a
9 little better than the end use model forecast.

10 Those were my comments.

11 CHAIR WEISENMILLER: Thank you. A couple of follow-
12 up questions. I mean, the one thing which I have neglected
13 to ask Chris and SDG&E, but we will start with you, what is
14 your assumption on charging, off-peak, on-peak charging for
15 the electric vehicles?

16 MR. CHAUDHURY: I think we are assuming that most of
17 the charging is going to happen in the off-peak hours after
18 people go home, say, starting maybe five in the afternoon.
19 So it's not going to have much impact on the peak.

20 CHAIR WEISENMILLER: And, Chris, I think yours is
21 like -

22 MR. KVALEC: In our case 75 percent of the charging
23 is done in off-peak hours with the rest spread evenly across
24 the other hours.

25 CHAIR WEISENMILLER: And is that similar to what

1 SDG&E is assuming?

2 MR. VONDER: Tim Vonder, SDG&E. Yes, we do most of
3 our charging in the evening, in the late evening.

4 CHAIR WEISENMILLER: Okay. Yeah, I had heard from
5 your -

6 MR. VONDER: I don't have the exact numbers.

7 CHAIR WEISENMILLER: I had heard from your company
8 that you were seeing some of the retail stores offering
9 charging?

10 MR. VONDER: Yes, that's beginning to filter in,
11 yes.

12 CHAIR WEISENMILLER: But anyway it would be good to
13 get on the record both your assumptions and PG&E's
14 assumptions just on this on-peak/off-peak charging.

15 MR. VONDER: Okay.

16 CHAIR WEISENMILLER: You know, obviously at this
17 point we're guessing but it would be good to make sure we
18 get the best data we can or, again, any data you've gotten
19 from your experience with the EV fleet would certainly be
20 helpful to Chris.

21 MR. VONDER: Yes, we can supply that.

22 CHAIR WEISENMILLER: Okay.

23 MR. KAVALEC: Our information came from an EPRI
24 study done about three years ago so it's a little dated by
25 now.

1 CHAIR WEISENMILLER: Yes, and I thought your point
2 on goods movement was very good. I mean, obviously with the
3 LA Basin that's like 17 percent of the economic activity
4 there, is goods movement.

5 MR. CHAUDHURY: Right.

6 CHAIR WEISENMILLER: So that's certainly a key part,
7 I'm not sure that it's as important in the other service
8 territories. But again something that's worth looking at.
9 I guess I should ask the proverbial question from my ex
10 business partner, What are we assuming about high speed
11 rail?

12 MR. KAVALEC: That would fall under the uncommitted
13 portion.

14 CHAIR WEISENMILLER: Okay.

15 (Laughter)

16 Fairly appropriate term. But anyway so it's part of
17 our counterbalance there.

18 Yes, I was very interested in trying to understand
19 the differences on our forecast and yours. I think
20 historically we have had issues, differences on the
21 commercial forecast. So again I don't - one of the
22 questions I had was: Your econ-demo, is it the same as
23 Chris' or different? I mean, is it the econ-demo or is it
24 the model itself?

25 MR. CHAUDHURY: Your Honor, we also rely on Moody's

1 Economy.com and the Global Insight. However, I think what
2 Chris does is for his base case and the lower case you are
3 using Moody's, is that right?

4 MR. KAVALEC: That's right.

5 MR. CHAUDHURY: Okay. Now, for us we use Moody's
6 Economy.com for personal income forecast. Whereas for
7 employment forecast we use Global Insight numbers for the
8 base case. And for, say, residential building permits we
9 take the average of two. And what we are realizing is that
10 over time - originally it was to rely on all our economic
11 data on Global Insight. Then we have been noticing a
12 divergence between Moody's and Global Insight. And Global
13 Insight has been more optimistic about things. That's why
14 when we forecast our new customer addition we basically take
15 the average of the two. And we may in the future go about
16 doing the same thing for other forecasts like personal
17 income, GDP. So currently for the personal income we use
18 Moody's Economy.com and for the employment we use Global
19 Insight.

20 MR. KAVALEC: Another difference is - I think why we
21 run into differences on the commercial side is you folks
22 don't use floor space directly as an input, right?

23 MR. CHAUDHURY: That's right.

24 MR. KAVALEC: You use employment and income, yeah.
25 And that seems to be another reason why we have a

1 divergence. And you mentioned the slowing down of
2 commercial growth in our forecast, later in the forecast
3 period, and that's basically happening because of the
4 implementation of the latest building standards that ramp up
5 over time and have more of an effect later in the forecast
6 period. Whereas on the residential side you have the impact
7 of additional EVs so that drives up the growth rate towards
8 the end of the forecast period.

9 MR. CHAUDHURY: Now, this appliance standard should
10 apply to all the utilities, right? I mean, it's not just
11 Edison.

12 MR. KAVALEC: Right.

13 MR. CHAUDHURY: Okay. Just an anecdotal evidence is
14 that what I'm hearing is that the cubical size is getting
15 smaller over time, I don't know if it's true. So maybe for
16 a given floor space you have more people working.

17 MR. KAVALEC: More energy intensity per square foot
18 you're saying, right?

19 COMMISSIONER PETERMAN: So can you just relay again
20 then what for your forecast you found for the peak demand
21 average growth rate?

22 MR. CHAUDHURY: For the peak demand for our SCE
23 system for 2012 through 2017, CEC and SCE forecast both are
24 like 1.6 percent, for the 2012 through 2017 period. For
25 2017 through 2022, CEC forecast is 1.3 and SCE forecast is

1 1.8 percent, for the peak demand.

2 CHAIR WEISENMILLER: I was going to ask in terms of
3 - we've heard SoCal Gas' perspective on the South Coast push
4 towards electrification. Are you capturing any of that in
5 your forecast, these sort of South Coast measures, or not?

6 MR. CHAUDHURY: Can you elaborate the question a
7 little bit?

8 CHAIR WEISENMILLER: Okay, the South Coast is
9 certainly trying to move the LA Basin into a post-combustion
10 era and so they are certainly talking about various things
11 which would shift, you know, gas appliances to electric or
12 substantial shifts from using combustion-based sources -
13 natural gas - to electricity in the basin. And I was trying
14 to understand if that's in Edison's forecast or not?

15 MR. CHAUDHURY: You know, I may get back to you on
16 that. But my initial thought is that ours is econometric-
17 based model, not end use type model, so we are not assuming
18 any change of appliance mix over time.

19 CHAIR WEISENMILLER: You wouldn't pick up structural
20 - characteristics of structural changes in demand such as
21 electrification in the basin types of policies?

22 MR. CHAUDHURY: Our historical data, we have ten
23 years of historical data that we rely on in estimating the
24 regression parameters. And we do have time trend so it may
25 capture some of the structural effect.

1 CHAIR WEISENMILLER: So it seems like the big
2 question is if there is a way to zero in on this 2017 to
3 2022 period and further conversations and the staff to see
4 if we can make some more progress there.

5 MR. KAVALEC: Yeah. And for the electrification
6 issue, we talked about this during the preliminary forecast
7 and we had our Fuels Office folks get involved who knew more
8 than we did about the electrification. And they said at the
9 time they thought, based on more recent information, that
10 the electrification projections were a little too high. But
11 Sharim tells us they have reduced those forecasts. So we
12 are happy to, you know, get together and talk about that
13 again and maybe incorporate something in the final version
14 of the forecast.

15 COMMISSIONER PETERMAN: You also mentioned
16 divergence in the Moody's versus the Global Insight data.
17 Do you see that divergence greater at the tail end of the
18 time period?

19 MR. KAVALEC: Well, typically what's happening with
20 these forecasts is that they fast at the beginning because
21 we are coming out of a recession and they slow down towards
22 the end. So typically that's what you're going to get in
23 your forecast, all else equal. In terms of - you said for
24 employment you used Global Insight?

25 MR. CHAUDHURY: Yes.

1 MR. KAVALEC: Now, do you know if that forecast is
2 higher or lower than Economy.com's mid case?

3 MR. CHAUDHURY: I don't know off hand. I can get
4 back to you.

5 MR. KAVALEC: Okay, so that's something we can
6 check.

7 MR. CHAUDHURY: And, Chris, I was just curious from
8 your econometric model what are you getting for the growth
9 rate for the commercial sector?

10 MR. KAVALEC: That's a good question. That's
11 something we can talk about. Because the model is done at a
12 sector basis so we can compare the different sectors using
13 both our econometric and our end use models. So that's
14 something we should definitely do.

15 MR. CHAUDHURY: Thank you.

16 CHAIR WEISENMILLER: Thank you.

17 MR. KAVALEC: Okay, our next victim is PG&E. For
18 consumption and sales the growth is a little bit lower than
19 previous forecasts, although the difference is very slight.
20 Among the five planning areas, PG&E probably has the closest
21 new forecast compared to the older forecast, it hasn't
22 changed very much at all. Higher peak demand growth
23 compared to previous forecast because of the impact of
24 additional climate change effects. Some of the adders and
25 subtractors, PV is reducing peak by around 600 to 700

1 megawatt-hours by the end of the forecast period.

2 High case matching the 2009 forecast by 2015, 2016
3 or so. Comparing the two mid cases and the 2009 forecast,
4 slightly slower growth rate versus the preliminary mid case,
5 almost exactly the same growth rate as the 2009 forecast. A
6 little bit lower of a growth rate relative to the
7 preliminary because of the additional savings from TV
8 standards and lower electric vehicle forecast.

9 Basically the same story for sales as consumption.
10 The high case meeting the 2009 forecast a little bit later
11 because the sales forecast growth rate is a little bit lower
12 because of increased self-generation. Very similar slopes
13 in the three forecasts, a little bit lower in the revised
14 forecast because of the additional savings.

15 For our peak forecast we have, as you can see, a
16 significantly lower starting point versus the 2009 forecast
17 but faster growth in the mid and the high cases so that the
18 high case reaches the 2009 projection by 2020. Again the
19 three forecasts, a lower starting point versus the
20 preliminary forecast. Again, remember in the revised
21 forecast we have the actual peaks and in the preliminary we
22 had estimated peaks. So lower starting point but we
23 basically through a higher growth rate we end up at
24 basically the same place by 2022.

25 Load factors, again we have that initial starting

1 point in the dark blue, the preliminary forecast a little
2 bit higher than the rest of the series. And, again, that's
3 because we had a relatively cool year in 2011. Flat after
4 that with a little bit of an increase towards the very end
5 due to electric vehicles.

6 Same pattern with our per capita consumption, a
7 little boost towards the end from EVs, continued increase
8 throughout the forecast period in the high case. And the
9 impact of the downward adjustment in population. So the
10 difference from the population adjustment is around 500
11 kilowatt-hours in 2011.

12 Again, among the three major sectors growth is
13 fastest in the residential sector followed by commercial but
14 the growth is more balanced than we've seen in the other
15 planning areas. We don't have as high a population growth
16 in PG&E as we do in San Diego so the residential growth is
17 not as high. But we have stronger employment growth, at
18 least according to Economy.com versus Edison so we have a
19 higher commercial growth rate.

20 PG&E has projected the strongest growth in
21 construction energy use, which increases the industrial
22 sector growth rate and makes it higher than Edison's. And
23 like San Diego and the state as a whole we have around a one
24 percent growth rate for agricultural and for TCU and
25 streetlighting.

1 Our key inputs, you will see the downward adjustment
2 of population around almost a thousand adjustment downward
3 from the census data versus what we used in the preliminary
4 forecast, between 500,000 and million, it looks like to me.
5 Same growth rate as the preliminary forecast, a little bit
6 lower than the 2009 forecast.

7 Faster income growth per household in the mid and
8 high cases, about the same rate of growth in the low case
9 versus the 2009 forecast. Lower starting point but a faster
10 growth rate for commercial floor space versus the 2009
11 forecast fueled by faster employment growth.

12 Comparison of econometric versus end use sales, this
13 is my favorite one because we match almost exactly by the
14 end of the forecast period, around one- or two-tenths of a
15 percent difference in 2022. Peak, however, there is a
16 bigger difference. The econometric is around 2.7 percent
17 higher by 2022.

18 Additional efficiency impacts from codes and
19 standards programs and price effects of between 10.5 and
20 12.5 thousand gigawatt-hours between 2011 and 2022. Self-
21 generation peak impacts helped along by increase in
22 photovoltaic adoption, constituting a 300 to 400 megawatt
23 decrease in peak between 2011 and 2022. And in the high
24 case we are reaching almost a 1600 megawatt effect - excuse
25 me, the low case. Our low demand case has more self-

1 generation. In the low demand case we are reaching almost
2 1600 megawatts peak impact by 2022.

3 And again this shows the difference, it shows the
4 three scenarios for the electric vehicle forecast and it
5 shows the different in mid case scenarios between the
6 preliminary forecast and the revised forecast. So between
7 those two mid cases we are losing about 700 gigawatt-hours
8 by the end of the forecast period.

9 With that, questions and comments.

10 CHAIR WEISENMILLER: I think you've covered most of
11 the topics. Let's see what PG&E has to say.

12 MR. KAVALEC: Okay.

13 MS. YUCEL: Hi. My name is Zeynep Yucel. I am with
14 PG&E and I manage the Load Forecasting and Research Group.
15 And thanks, Chris, you and everybody else at CEC who have
16 helped achieve these results for us today. And thanks,
17 Commissioners, for the opportunity to provide comments.

18 So after the last workshop, the preliminary
19 forecast, we had multiple sessions with CEC staff. So our
20 (indiscernible) first met and then we met collectively
21 afterwards to understand the differences in our forecasts
22 and what might be driving those differences. And at the
23 end, you know, we kind of converged into the result that the
24 difference is mainly coming from the incorporation of the
25 incremental uncommitted energy efficiency. So if we were to

1 converge to similar assumptions for our forecast on the
2 energy side and also on the peak side pretty much
3 overlapping.

4 So from that perspective, you know, we are finding
5 staff's forecast reasonable. As Chris highlighted today the
6 difference between the preliminary and the revised, it's
7 very close and slower as a result of the EV forecast. And
8 what I want to highlight on that part of the forecast is
9 that Chris provided us with the CEC's EV forecast and at
10 PG&E internally we are using that as well. So we don't have
11 any issues there, our internal group found that reasonable
12 to incorporate.

13 So I just want to highlight a couple of areas that
14 the other utilities also have touched. So I mentioned the
15 EV items, so we are mainly using CEC's EV and our current
16 internal forecast incorporates the current EV forecast. So
17 the climate change, PG&E has been actually using the climate
18 change impact for the last few years and we are happy to see
19 that CEC actually incorporated this similar effort for this
20 update. Again, the main difference is incremental
21 uncommitted energy efficiency and how we are going to be
22 treating that in our forecast.

23 So in terms of growth rates, again, you know, if we
24 were to follow the same assumptions in the same way we are
25 very close on the sales size, about 0.8 percent, and on the

1 peak side it's about 0.7 or 0.8 percent. So, Chris, one
2 point that I want to highlight on the peak side, you
3 mentioned that for the 2011 weather-adjusted number. So our
4 adjustment is a little bit higher than yours so your
5 starting point is still lower than ours. So I just want to
6 have an offline conversation to see whether we are actually
7 doing it right. Because otherwise - I mean the current
8 forecast, the staff's forecast is a little bit lower than us
9 but with the preliminary we were much closer. And our
10 current weather-adjusted number is higher than what you
11 have. So something to just close the loop on that. But
12 beyond that we find the forecast very reasonable.

13 And with this opportunity I also want to join the
14 other utilities to recognize the effort of DAWG group. I
15 found it very useful, it was very rewarding for us to have
16 collaboration and the transparency and kind of, you know,
17 leveraging best practices and incorporating where we can.
18 So that was very productive.

19 So the other thing that I want to highlight, you
20 know, we are talking about the EV adoption, you know, where
21 it's going to happen. So I just wanted to highlight that
22 internally in my group. We did some study on the EV
23 adoption where we used some advanced statistical analysis,
24 like discriminant analysis to kind of use the current EV
25 customers and kind of connecting their information, customer

1 information with the census data to kind of understand the
2 similar characteristics of the customers from the income
3 perspective and other, you know, census variables to see
4 whether there are any potential customers with similar
5 characteristics to the current EV customers but they don't
6 have EV at this time and then where they might be located.
7 So I am happy actually to share that study with Chris. So
8 since we have interest in kind of understanding where the
9 adoption might happen, whether we have the right
10 proportions, maybe we can leverage that study going forward.
11 So I just wanted to highlight that as well.

12 So I think this is all I have that I want to
13 highlight on the forecast.

14 CHAIR WEISENMILLER: Well, thank you very much. I
15 was going to say actually one of the reasons why the
16 workshop is today is the DAWG. As you know, we posted late
17 but we were also relatively aware that, you know, the DAWG
18 had provided an opportunity to provide this stuff today,
19 really adequate time for the utility reviews.

20 MS. YUCEL: Exactly. I mean, this is not a surprise
21 to any of us because we really had those close interactions
22 with staff. So I really appreciate the effort and we would
23 like to thank Chris and the other members of the CEC staff.
24 They made themselves available for us to kind of understand
25 these differences. And especially on the PG&E side since,

1 you know, they are producing area forecasts so they took the
2 time to breakdown some of the energy efficiency assumptions
3 to service area levels so we can actually compare one to one
4 to better understand the differences. So I really
5 appreciate that additional effort as well. So that made it
6 possible for us to see, you know, how close we are.

7 CHAIR WEISENMILLER: That's very good. And on the
8 self-generation forecast, I mean, again how close or
9 different are you on that?

10 MS. YUCEL: So for the energy efficiency, again, you
11 know, we are using CEC's committed -

12 CHAIR WEISENMILLER: Right.

13 MS. YUCEL: - numbers and incremental uncommitted,
14 we go with the goal study. The only adjustment that we have
15 is the Big Bold and decay are not -

16 CHAIR WEISENMILLER: Right.

17 -- (indiscernible) to our forecast. But beyond that
18 it's the same as, you know, what we had in preliminary
19 forecast for staff's. EV is the same and CHP comes in
20 internal. And again, you know, the difference from last
21 year to this year was that we had more PV and it seems like
22 it's similar for staff's forecast as well. For CHP we had
23 more conservative assumptions like assuming it's mostly
24 embedded and not much into the future.

25 CHAIR WEISENMILLER: Right.

1 MS. YUCEL: So those are the main assumptions that
2 come into our forecast. We use the econometric forecast by
3 customer class.

4 CHAIR WEISENMILLER: Right.

5 MS. YUCEL: And our source is mostly Moody's
6 Economy.com for economic drivers.

7 CHAIR WEISENMILLER: Okay, that's great. Thank you.

8 MS. YUCEL: Okay.

9 MR. KAVALEC: And, Zeynep, where are you on your
10 forecast? You've had final internal approval and it can be
11 released?

12 MS. YUCEL: Yes, it's released at the end of
13 January.

14 MR. KAVALEC: Okay.

15 MS. YUCEL: It's in use now.

16 MR. KAVALEC: Okay.

17 MS. YUCEL: Well, again thanks, Chris, for keeping
18 us in the loop and with all the new forecasts he shares with
19 us. So then we have ability to socialize that with the
20 relevant team to make sure that they are okay with it before
21 we incorporate it. So we appreciate that.

22 MR. KAVALEC: And thank you guys for your
23 participation in DAWG. We appreciate it.

24 MS. YUCEL: Yes, it's very - so, I mean, I agree
25 with the expert panel's recommendation. I think, you know,

1 we should formalize it. It has been very, very useful, I
2 mean, on the personal side so where we can get a chance to
3 meet with the other utilities, you know, counterparts in
4 person and, you know, understand various ways that they do
5 things. And, you know, it's very transparent. You are like
6 at home, right, so you can kind of share anything and then
7 take away anything. I think, you know, Chris and the team
8 actually provided that setting for us and it's really
9 noteworthy. Thank you.

10 CHAIR WEISENMILLER: That's very good. And if you do
11 have a more recent demand forecast if you could submit that
12 for the record that would be good, too.

13 MS. YUCEL: I'm sorry?

14 CHAIR WEISENMILLER: If you have a new demand
15 forecast that came out at the end of January -

16 MS. YUCEL: Yes.

17 CHAIR WEISENMILLER: - if that's -

18 MS. YUCEL: Yes, I release that internally at the
19 end of January.

20 CHAIR WEISENMILLER: So anyway when it's official if
21 you could submit that for the record that would be good.

22 MS. YUCEL: Yes, so I shared the high level numbers
23 with Chris so it gives him some guidance as to where we
24 ended up as compared to the revised forecast.

25 MR. KAVALEC: When you are completely done do you

1 have a formal report that comes out?

2 MS. YUCEL: I just did memo to share the highlights
3 of the forecast outlook and the tables with, you know, the
4 monthly numbers or annual numbers by customer class.

5 MR. KAVALEC: I should have most of it now in the
6 stuff you've sent me already, right?

7 MS. YUCEL: Yes, I think what's relevant to you I
8 think I shared with you.

9 MR. KAVALEC: Okay.

10 MS. YUCEL: The rest are kind of details.

11 MR. KAVALEC: Okay, thanks.

12 MS. YUCEL: Okay, thank you.

13 MR. FUGATE: Okay, moving on to SMUD. So in the
14 SMUD territory the average growth in sales is similar to the
15 2009 IEPR forecast. The fastest growth occurs in the
16 residential sector and so we see slightly higher growth in
17 peak than in sales. It's a 1.3 percent growth in sales and
18 close to 1.5 percent peak growth in the mid case. Climate
19 change adds 40 to 70 megawatts of peak demand by 2022 while
20 PV adoption reduces peak by about 40 megawatts in 2022. TV
21 standards decrease sales by over 100 gigawatt-hours at the
22 end of the forecast and electric vehicles increase sales by
23 100 to 200 gigawatt-hours.

24 So here is the chart of electricity consumption and
25 we see an average annual growth over the forecast period of

1 1.7 percent in the high case and 1.1 percent in the low
2 case. The recorded consumption in 2010 was less than
3 projected by CED 2009 so we have a lower starting point but
4 the high case reaches CED 2009 levels by 2020, 2019
5 actually.

6 Similar for electricity sales. Sales growth is down
7 about a third of a percent from the preliminary forecast as
8 we incorporate lower electric vehicle projections and the
9 television standards.

10 Average annual growth in peak demand is 1.9 percent
11 in the high case and one percent in the low case. 2011 was
12 a relatively cool year so the weather-normalized peak in
13 2011 is higher than the recorded peak. And the addition of
14 climate change impacts helped push the growth above levels
15 that we saw in the preliminary forecast.

16 So per capita consumption, the historical downward
17 trend that we see levels off in the near term and then
18 increases towards the end of the forecast period. As with
19 the other planning areas, electric vehicles help push that
20 up towards the end of the forecast period.

21 So some of the drivers, number of households, we see
22 slower growth in the mid and low cases than we saw in 2009.
23 As Chris mentioned, population was adjusted to agree with
24 the 2010 census and so that affected also number of
25 households and so that's why we have the different starting

1 points.

2 Income per household, we see rapid growth coming out
3 of the recession for all three scenarios. Both Moody's and
4 Global Insight project faster growth in total personal
5 income and this is in contrast to what we see in the CED
6 2009 where we actually had a declining forecast in the near
7 term and a much slower growth rate over the forecast period.

8 So here is commercial floor space, growth is similar
9 to what we saw in CED 2009, a little bit higher. All three
10 scenarios are above CED 2009, though, because the 2010
11 estimate of floor space is higher than we predicted in 2009.

12 So here are the committed efficiency impacts. So
13 that would be standards, programs and price effects. Again
14 there is little difference between the three scenarios, it
15 just continues along the trend although this doesn't include
16 the uncommitted efficiency so the growth rate is a little
17 bit lower as you go out in the forecast period.

18 Self-generation peak impacts. So I think Asish
19 mentioned in his presentation earlier today that some errors
20 were corrected, data entry errors were corrected, and so we
21 see a significantly different starting point than in CED
22 2009. The peak impacts are increased by 20 megawatts in the
23 mid case. And for the SMUD territory the growth over the
24 forecast period comes mainly from the addition of new PV.

25 And finally, here is the electric vehicle forecast.

1 We have nearly 150 gigawatt-hours of electricity consumption
2 added in the mid case, about 100 in the low and 200 in the
3 high. And comparing this to the preliminary forecast, the
4 mid case - comparing the mid cases between the revised and
5 the preliminary forecast we see about a 50 gigawatt-hours
6 reduction.

7 And so I will stop here and ask for comments or
8 questions.

9 CHAIR WEISENMILLER: Thank you. Any comments from
10 SMUD?

11 MR. TOYAMA: Good afternoon. My name is Nate Toyama
12 from the Sacramento Municipal Utility District.

13 I have my own little slide show that I wanted to
14 present. I just thought it would be easier. I'm not going
15 to go much into the details of the forecast because our
16 forecast is very different from the CEC's. So this is sort
17 of a background of our forecast. It's used for many
18 reasons. We have forecast for everything.

19 Primarily the first one is revenues and budgets.
20 This forecast is used for estimating revenues or expected
21 revenues. It's used for determining the budget for the
22 following year. We use the forecast also for resource
23 adequacy purposes, RPS and our own IRP resource portfolio.
24 It's a regression-based forecast. We regress several
25 models, primarily retail sales, by rate classes, we have an

1 hourly load model which is measured at the system level, and
2 then, of course, from the hourly load model we extract our
3 peak demand.

4 What I will show is two different forecasts that
5 SMUD uses. SMUD has an unmanaged forecast and a managed
6 forecast. The unmanaged forecast is basically our trend
7 forecast. It takes existing stock of homes and buildings
8 and makes a forecast of our current customers. And then for
9 our load growth and sales growth we have new construction
10 models that we apply. And by new construction models, we
11 basically examine our customer class by vintage. And in
12 doing so we found that our new vintages, primarily built
13 after 2000 for residential customers, were very, very
14 efficient, using about 16 percent less than our current
15 customers.

16 For small commercial we found that their actual
17 energy use was increasing by about five percent, or was
18 larger by about five percent. And then our slightly larger
19 small customers with kilowatt demands between 20 and 200
20 kilowatts, we found that their usage also was declining,
21 about six percent lower than our current customers. So when
22 we look at our forecast we look at our current customers,
23 forecast their usage as is, and then we look at our new
24 customers with our new construction and then apply a
25 customer forecast which gives us our growth. We take that

1 unmanaged forecast and apply three resources that we use as
2 part of our policy. One is energy efficiency, the other is
3 our SB PV program, and finally we look at potential electric
4 vehicles.

5 Now, what this table shows you is how these
6 components all fit together. We have our unmanaged sales
7 and unmanaged peak, we have our EE forecast and SBI, which
8 are subtracted from the unmanaged, we add in EV and then
9 that results in our managed forecast. The same for peak, we
10 have an unmanaged peak, we apply our EE forecast, our SB1
11 forecast, our EV forecast and then we produce a managed
12 forecast.

13 I wanted to briefly talk about our EE forecast. Our
14 EE forecast is not the same as what the CEC uses because our
15 EE forecast is really measured above standards. It's really
16 the impact of our EE program on energy use. I guess the
17 implicit assumption in our modeling is that standards as
18 well as potential increase in load growth from plug loads
19 basically balance each other out. All we observe in this
20 model is the above standard EE impacts that our programs do.
21 And so they are not the same. The numbers look similar but
22 they are not the same.

23 SB1, which is our PV program that we use to
24 incentive solar PVs in our area, I don't know if it's
25 similar to your self-generation forecast but this is our

1 program so it's based on our projected installation of PV
2 programs. It is very similar, however, to the CEC's self-
3 generation forecast but I'll let the CEC determine how
4 closely ours is.

5 Finally, we have an EV forecast and our EV forecast
6 is larger than the CEC's forecast. The growth path looks
7 very similar in terms of the number of cars that you might
8 expect to have EVs on the road. The amount of charging in
9 this forecast might be a little bit higher than in future
10 forecasts. We have begun a study where we are looking at EV
11 charging and we found that EV charging is somewhat below
12 what we expected to see. And so in the future we will be
13 using that as part of our forecast for EV.

14 But what I really wanted to show is the next slide,
15 which shows us our forecast versus the CEC's. This is the
16 mid-point forecast that was presented and our unmanaged and
17 our managed forecast. And from the slide you can see that
18 they are very, very similar. The CEC's forecast, for
19 example, on our retail sales is roughly about two percent
20 higher than our unmanaged forecast. But when we look at our
21 managed forecast it's roughly by the end of the period about
22 12 percent lower.

23 On the next slide we will see the peak forecast is
24 slightly different. The peak forecast for SMUD's unmanaged
25 forecast is slightly below the CEC's and then of course our

1 managed forecast is well below.

2 The next slide shows numbers for all of these charts
3 just to give you an idea of what it looks like so you can
4 compare them. I believe I used the mid-point sales, retail
5 sales forecast for comparison. I used the CEC net peak
6 forecast to represent what SMUD's peak forecast might look
7 like. But one question is: You net peak is our system peak
8 or is it coincident with the state peak?

9 MR. KAVALEC: Yours.

10 MR. TOYOMA: Is it our peak? Okay.

11 Again they are very close. If you looked at our
12 unmanaged versus our managed relative to the CEC forecast,
13 again they are within one to two percent of each other, with
14 the sales being slightly higher, the peak being slightly
15 lower, and then, of course, our managed forecast is well
16 below.

17 Now, the way that we use these two forecasts is that
18 we basically look at our unmanaged forecast for overall
19 planning. The managed forecast is used for looking at our
20 traditional resource acquisitions, thermal plants, other
21 types of renewable plants, but that's our more traditional
22 plant benchmark. Everything between the sales forecast, the
23 managed and unmanaged as well as the unmanaged peak and our
24 managed peak is used for very non-traditional resources,
25 such as our energy efficiency, or SB1 and then, of course,

1 netted out would be our EV forecast.

2 So that's the way that we use these. And in general
3 our forecasts are very similar even though our methods are
4 very, very different. Anyway, that's my presentation. Do
5 you have any questions?

6 (No response.)

7 CHAIR WEISENMILLER: Thank you for being here today.

8 MR. TOYOMA: Thank you.

9 CHAIR WEISENMILLER: We are certainly going to
10 encourage the staff and SMUD to continue talking to see if
11 we can get a little closer.

12 MR. FUGATE: Thanks to Nate for your presentation.
13 So we will move on to our final planning area for the
14 afternoon, LADWP.

15 So for LA's territory we see higher average growth
16 in sales versus our previous forecast driven by higher
17 population growth. Average growth in sales is about 1.1
18 percent in the mid case. Average peak growth is nearly
19 double what we saw in the CED 2009. In the 2009 forecast it
20 was about 0.7 percent versus this forecast is about 1.4
21 percent. Climate change adds about 100 to 170 megawatts of
22 peak demand by 2022 while PV adoption reduces peak by over
23 50 megawatts. The TV standards reduce sales by over 250
24 gigawatt-hours at the end of the forecast and EVs increase
25 sales by 250 to 500 gigawatt-hours.

1 So here we have electricity consumption, average
2 annual growth over the forecast period is 1.4 percent in the
3 high case and 0.9 percent in the low case. We're starting
4 from a lower starting point as recorded consumption is lower
5 than what we forecast in 2009 and the high case almost
6 reaches the 2009 forecast by 2020.

7 So again a similar graph for electricity sales.
8 Growth in sales is very close to what we saw in the
9 preliminary forecast, it hasn't changed that much.

10 Peak demand, we had a relatively normal weather year
11 so the adjustment to recorded peak was not that great. High
12 growth in floor space is one of the reasons that peak growth
13 is up nearly one percent in the commercial sector over what
14 we saw in CED 2009.

15 Per capita consumption is very similar to some of
16 the other planning area graphs we saw. It's relatively flat
17 over history and in the near term forecast and then towards
18 the end of the forecast period the electric vehicles cause
19 an upward tick.

20 We see much faster growth in number of households
21 due to the higher population growth. Sorry, the subtitle
22 there should read "faster growth over CED 2009". Income per
23 household, so over CED 2009 we have higher growth in total
24 income but also higher growth in households so the net
25 effect is a forecast that is not substantially higher than

1 what we saw in CED 2009.

2 Here is the commercial floor space forecast. We see
3 rapid growth over CED 2009 which reflects in part the high
4 population growth. And so this contributes to the fast
5 growth in the commercial sector and particularly the
6 commercial peak.

7 Here are the committed efficiency impacts, codes and
8 standards programs and price effects for LADWP. We see over
9 3300 gigawatt-hours of projected savings over the forecast
10 period, additional projected savings over the forecast
11 period.

12 And here are the self-generation peak impacts. We
13 see an increase of 80 megawatts in the mid case and a lower
14 starting point, which reflects the data entry error that was
15 corrected for the revised forecast.

16 And we will end with the electric vehicle forecast,
17 which looks similar in shape to all the other electric
18 vehicle forecasts we've seen today but this one reaches
19 about 400 gigawatt-hours in the mid case. And that
20 represents about a 100 gigawatt-hour decrease from what we
21 had in the preliminary forecast.

22 So I will finish there and take comments or
23 questions.

24 CHAIR WEISENMILLER: This is good. Again, thanks.
25 Let's hear from the audience or from LA. I think we have

1 heard much of the issues like electric vehicles or
2 electrification of basin probably covered enough in terms of
3 the other utilities as opposed to jumping on them again
4 here. So let's hear from LA.

5 MR. FUGATE: Do we have any?

6 MR. KAVALEC: Our friend Mike Cochayne at LADWP is
7 out with an illness. So we wish him a speedy recovery.

8 CHAIR WEISENMILLER: Yes, certainly. And again we
9 would certainly just encourage LA to provide written
10 comments and we will read those.

11 COMMISSIONER PETERMAN: Chris, is there anything you
12 can say about how these forecasts compare to what LA has
13 done, from some of your DAWG conversations?

14 MR. KAVALEC: I can only speak to the last forecast
15 I saw from them, which was in the summer of last year. And
16 they were lower than us at the time by a little bit, not a
17 lot. But I haven't seen a newer forecast.

18 COMMISSIONER PETERMAN: Great, thanks. So we look
19 forward to their filed comments.

20 MS. KOROSSEC: We do have one comment online. Go
21 ahead, your line is open.

22 (Poor connection, inaudible comments)

23 Sierra, can you step away from your computer or turn
24 off the sound? We're getting feedback from the time delay
25 between our broadcast and your computer.

1 MR. MARTINEZ: Okay, how is it now?

2 MS. KOROSSEC: That's better, yes.

3 (The telephone connection was very poor and parts of
4 the speaker's comments were inaudible or unintelligible.
5 The transcript will reflect what can actually be heard.)

6 MR. MARTINEZ: My name is Sierra Martinez and I am
7 representing NRDC. I especially want to commend the staff
8 for all the hard work that they have put into this forecast.

9 MS. KOROSSEC: Sierra, I'm sorry, you're coming in
10 and out. We are not able to hear you clearly.

11 COMMISSIONER PETERMAN: If you are on a speakerphone
12 can you pick up the - whatever they call them nowadays -
13 handset?

14 MR. MARTINEZ: Why don't you go to some other
15 comment while I dig up a headset and then I will come back.

16 MS. KOROSSEC: Okay, that would be great. Do we have
17 any other public comments here in the room while we are
18 waiting for the headset changeover?

19 MR. SKINNER: Hi. I'm Nathaniel Skinner, lead
20 analyst for long-term procurement planning, here on behalf
21 of the California Public Utilities Commission Energy
22 Division.

23 I would like to add, like many others today, that we
24 greatly appreciate the work that Energy Commission staff has
25 done. We have also appreciated the opportunity to

1 participate on the Demand Analysis Working Group as well as
2 its predecessor. We are also encouraged to see that the
3 impacts of climate change are being considered in the most
4 recent forecast, particularly as we look at many challenging
5 issues such as the retirement or repowering of once-through
6 cool power plants in the LA Basin, that we can make sure
7 that reliability is maintained.

8 In particular on the demand side we are encouraged
9 to see that demand response is being considered for the first
10 time in the IEPR forecast, even though to date the resources
11 have been very small. I believe the report said it was
12 about less than 20 megawatts. In particular, though, we
13 wanted to comment on the use of incremental uncommitted
14 energy efficiency or its noted lack in the revised forecast.
15 As many others from the utilities have said, incremental
16 uncommitted energy efficiency is critical to the planning
17 efforts of the state.

18 In the 2010 LTPP the impacts of removing the
19 incremental uncommitted energy efficiency totaled to about
20 5700 megawatts statewide, or I should say CAISO-wide, and
21 about 15,000 gigawatt-hours of consumption. This translates
22 into the need for an additional 5000 gigawatt-hours or
23 renewable energy in the state. So we're talking of the
24 potential impacts being quite large if this resource is not
25 able to be considered in the long-term procurement plan.

1 Energy Division will be providing recommendations
2 for ways that perhaps incremental uncommitted energy
3 efficiency could be considered in the adopted forecast just
4 due to timing constraints with the forthcoming 2012 LTPP as
5 well as its use in other forums such as for the CAISO
6 transmission planning process.

7 CHAIR WEISENMILLER: Okay, thank you very much.
8 Obviously, we appreciate the issue, we've been working on
9 that for decades. Although, again, I think you have to
10 recognize that there is substantial uncertainty up and down.

11 MR. SKINNER: Yes.

12 CHAIR WEISENMILLER: And we're trying to capture
13 that certainly in the low case. The low case includes not
14 just uncommitted energy efficiency but certainly the DG,
15 which you could use the committed/uncommitted metaphor
16 there, and certainly the economic growth. So basically I
17 think it's important that the PUC and the Commission
18 understand the uncertainties, high and low both, and make
19 prudent decisions based upon those. So again, thanks for
20 your contribution, and suggestions on how best to reflect
21 the uncertainties would be great.

22 MR. SKINNER: Thank you.

23 MS. KOROSEC: All right, Mr. Martinez, can we try
24 again?

25 (No response.)

1 Your line is open.

2 (No response.)

3 Mr. Martinez?

4 (No response.)

5 All right, well, is there anyone else in the room
6 who would care to speak?

7 (No response.)

8 All right. If not, then I would turn it over to the
9 dais for any closing remarks you would like to make.

10 COMMISSIONER PETERMAN: Sierra, are you there?

11 MR. MARTINEZ: Hello. Is the audio working?

12 MS. KOROSEC: Yes, you're back on. Go ahead.

13 MR. MARTINEZ: Hello?

14 MS. KOROSEC: Go ahead, Mr. Martinez.

15 COMMISSIONER PETERMAN: We are all ears, go ahead.

16 (The telephone connection continued to be very poor
17 and parts of the speaker's comments were inaudible or
18 unintelligible. The transcript will reflect what can
19 actually be heard and what appears to have been said.)

20 MR. MARTINEZ: Okay, sorry about the technical
21 troubles. ... the staff for their hard work on the demand
22 forecast...displaying it in an unclear fashion...all very
23 interesting. My concern with the forecast is the lack of
24 inclusion of the uncommitted energy efficiency...the demand
25 forecast stated that because the Public Utilities Commission

1 had not yet updated future goals study they were going to
2 not include the uncommitted in the mid forecast. While I
3 appreciate the degree of uncertainty in forecasting, this is
4 the case with all variables in the forecast, that future
5 information will provide improved forecasts. In 2012 we
6 will get improved future goals for efficiency as well as
7 improved estimates of economic activity.

8 And my recommendation would be to use the best
9 available data. In 2008 the goals study was updated and in
10 2009 the Energy Commission adjusted that for the amount that
11 was uncommitted incremental and in 2011 the Public Utilities
12 Commission adjusted that for their LTPP proceeding. And so
13 I think it makes sense to use the best available estimate of
14 uncommitted energy efficiency even if future information
15 will improve that estimate.

16 Deciding to cut off future efficiency in 2012 for
17 the IOUs and 2011 for the POUs means that for the IOUs ten
18 of the eleven years forecasted will assume no future
19 programs in efficiency and no future updates to codes and
20 standards. For the POUs cutting off at 2011 means that all
21 the programs that the POUs are running today currently...in
22 2012 are not occurring.

23 So my recommendation would be to use a non-zero
24 number for the forecast of uncommitted energy efficiency,
25 acknowledging that there is uncertainty in that estimate.

1 Thank you.

2 MS. KOROSEC: All right, Mr. Martinez. Did you end
3 or did we lose you there?

4 MR. MARTINEZ: Oh, no, those are my recommendations
5 and thoughts.

6 MS. KOROSEC: Okay. I wanted to make sure you
7 weren't still continuing to talk. All right, thank you very
8 much for your comments.

9 Is there anyone else who wants to say anything
10 before we wind up?

11 (No response.)

12 All right, thank you.

13 COMMISSIONER PETERMAN: Yes, thank you for the
14 public comments and for the participation by all the parties
15 today. I found this to be a very informative workshop. In
16 particular, I think we got some insights about how to better
17 pin down some of the uncertainties in the demand forecast,
18 in particular thinking about other data sources for electric
19 vehicles and also some of the discussion we've had around
20 energy efficiency and distributed generation.

21 I particularly want to make sure to thank those who
22 participated in the DAWG. I think that we had a relatively
23 smooth workshop today because of the conversations that have
24 been occurring over the last number of months between the
25 different parties. And it has been beneficial for us and

1 I'm glad to find that all the participants find it
2 beneficial as well. I encourage you to continue to talk
3 about the differences in the forecast between the utilities
4 and the CEC estimates and for CEC staff to consider some of
5 the additional data resources that have been suggested here
6 today. And I look forward to seeing staff's final proposal.

7 CHAIR WEISENMILLER: Again I also would like to
8 thank everyone that has been participating in the Demand
9 Analysis Working Group. And, again, I think that's really
10 helped to move issues along. Also I certainly want to thank
11 our outside peer review group. Just again, we appreciate
12 the activity to really step back and take a look. It was
13 certainly reassuring to get sort of a vote of confidence out
14 of them on the model structure.

15 I think the issue which would - you know, we are
16 obviously trying to reach a conclusion on this and leave
17 things for future IEPRs to keep making progress. I think,
18 having said that, you know, there are certainly areas going
19 forward that we need to look at. And, as we know, there are
20 a variety of studies that are always going to be coming
21 along. But we need to be making decisions relatively
22 quickly.

23 I think I certainly encourage the staff and other
24 parties to talk about the EV issue. Certainly our staff
25 should try to talk about the TV standards. It would be good

1 to understand better what's going on in the Edison out years
2 and also in terms of the goods movement area. I think, you
3 know, certainly SMUD. The very interesting part of it may
4 just get to our disaggregation question. But obviously we
5 are very close with their unmanaged forecast, and our
6 forecasts differ with the managed, although our forecast is
7 more analogous, say, to the managed. So again, trying to
8 understand. But, again, that is probably something for
9 future years.

10 I think on the energy efficiency we are certainly
11 looking forward to seeing the PUC study and to see how
12 different that is and particularly to see how the nature of
13 the PUC's energy efficiency programs are going forward and,
14 again, how different they are going forward. I think
15 certainly we understand the state's commitment, that's at
16 the top of our loading order. And at the same time trying
17 to make sure that we've got a broad enough range.

18 You know, initially with the Commission we
19 struggled. I think I mentioned to the NRDC initially that
20 in the 70s the utilities always made the case that the end
21 use model didn't include what they called phantom
22 appliances, and it didn't. And that, from their
23 perspective, led to an underestimate. While in fact, you
24 know, here we are thirty years later, we have computers, we
25 have TV game sets, we have all kinds of things which - you

1 know, we have at least 11 battery charger in every house,
2 which we certainly didn't think of in 1977 or 1978 in the
3 demand forecast models.

4 So basically trying to come up with something which
5 is relatively reflective of the range, I consider this
6 probably to be one of the most difficult times to do the
7 forecast, again, compared to the late 70s where people when
8 we first got into this - the middle 70s for myself - you
9 know, we felt we really needed to go disaggregated to really
10 reflect energy efficiency policies. But at the same time
11 now we also have the EV, we certainly had the DG and we had
12 the economy. So there is a lot of uncertainty and I'm
13 always concerned that our models don't quite reflect the
14 full range. And certainly there is substantial cause for
15 either under- or overforecasting. I agree, we need to
16 figure out some way to deal with the uncommitted questions.
17 And presumably that's part of what affects the low end
18 numbers as we struggle to get sort of a reasonable
19 reflection of what the potential range is.

20 But anyway, again I would like to thank everyone for
21 their contributions. Certainly a lot of issues were dealt
22 with today and if people want to give more thought to those
23 and contribute comments.

24 MS. KOROSSEC: Written comments are due on March 1st
25 by close of business.

1 CHAIR WEISENMILLER: Okay, by March 1st, that would
2 be good. But again I think we could - well, again, this is
3 always a work in progress. So we will get something done
4 this year and continue to work on the issues and encourage
5 the Demand Analysis Working Group and also the outside
6 review group to help us do better in subsequent years.

7 COMMISSIONER PETERMAN: I will also just add, I
8 don't know if I explicitly called them out, so I just want
9 to thank the staff of the Energy Commission who worked on
10 these forecasts. Others have spoken about your
11 collaborative nature and we appreciate that and your ability
12 to work with the other state agencies and the other
13 divisions within the agency on this. So thank you.

14 With that, our meeting is adjourned. Have a lovely
15 afternoon.

16 (Workshop adjourned at 3:06 p.m.)

17 --oOo--

18

19

20

21

22

23

24

25