

DOCKET**12-IEP-1C**DATE APR 30 2012RECD. MAY 15 2012

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of) Docket No. 12-IEP-1C
Preparation of the)
2012 Integrated Energy Policy Report)
Update (2012 IEPR Update))

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

MONDAY, APRIL 30, 2012
9:30 A.M.

Reported by:
Peter Petty

APPEARANCES

Commissioners (and their Advisors) Present:

Robert B. Weisenmiller, PhD, Chair and
Lead Commissioner, RD&D

Carl Peterman, Lead Commissioner, 2012 IEPR
Saul Acosta Gomez, Her Advisor

Karen Douglas

Staff Present:

Laurie ten Hope
Guido Franco
Chris Kavalec

Also Present: (* Via WebEx)

At Dias:

Catherine Sandoval, Commissioner, CPUC
Colette Kersten, Her Advisor

Other State Government Representatives:

John Laird, Secretary, Natural Resources Agency (NRA)
Wade Crowfoot, Governor's Office

Presenters:

Daniel R. Cayan, Scripps
Maximilian Auffhammer, U.C. Berkeley
Joshua Viers, UC Davis
Larry Dale, Lawrence Berkeley National Laboratories (LBNL)
Lee Hannah, UC Santa Barbara (UCSB)
Michael McCormick, Office of Planning and Research (OPR)
Julia Levin, NRA
David Pierce, Scripps
Kosta Georgakakos, HRC/Scripps
Paul Bunje, UCLA
Daniel Kammen, UC Berkeley

APPEARANCES (Continued)

Panelists:

Susanne Moser, Consultant for Stanford University
Valerie Winn, Pacific Gas and Electric (PG&E)
Manuel Alvarez, Southern California Edison (SCE)
Bud Beebe, Sacramento County Municipal District (SMUD)
Dennis Peters, California ISO (CAISO)
Steven Kelly, Independent Energy Producers Association (IEPA)
Randy Howard, Los Angeles Department of Water and Power (LADWP)
Michael Hanemann, UC Berkeley

Public:

Douglas Mahone, Heschong Mahone Group
Lewis Bloomberg

INDEX

	PAGE
Introduction	
Suzanne Korosec, IEPR Lead	7
Welcoming Remarks and Workshop Overview	
Commissioner Carla Peterman, IEPR Lead Commissioner	8
Chair Robert Weisenmiller, RD&D Lead Commissioner	10
Secretary John Laird, Natural Resources Agency	11
Wade Crowfoot, Governor's Office	17
Direct Impacts of Climate Change on the California Energy System	
Energy Commission's Research Strategy on Impacts and Adaptation Options for the Energy Sector:	
Laurie ten Hope (Energy Commission)	22
Historical and Projected Climate in California:	
Dan Cayan (Scripps)	28
Electricity Demand in a Warming World:	
Max Auffhammer (UC Berkeley)	38
Impact of Climate Change on Hydropower Generation: Implications to the Re-Licensing of Hydropower Units in California:	
Joshua Viers (UC Davis)	57
Potential Impacts of Wildfire, High Temperatures, and Sea Level Rise to Transmission Lines, the Performance of Thermal Power Plants, and Electricity Reliability:	
Larry Dale (LBNL)	75

INDEX

	PAGE
Climate Change Impacts on Renewable Sources of Energy:	
Guido Franco (Energy Commission)	98
Implications of Climate Change in Conservation Planning for Impacts in the Siting of Energy Facilities:	
Lee Hannah (UC Santa Barbara)	105
Lunch Break	124
Preparing the California Energy System for a Changing Climate, Climate change, Energy, and Local Governments: A Report from a Conference Organized by OPR:	
Michael McCormick (Office of Planning and Research)	125
Goals and Objectives for the Afternoon Session:	
Julia Levin (Natural Resources Agency)	129
Adaptation of the Energy Sector to Climate Variability and Change Using Seasonal/Mid-Term Climate Forecasts:	
David Pierce (Scripps)	137
Improving the Management of Large Hydropower Units in California:	
Kosta Georgakakos (HRC/Scripps)	150
Adaptive Measures for Homes, Buildings, and Cities in California:	
Paul Bunje (UCLA)	163
The Potential Evolution of a More Sustainable and Resilient Energy System in California in the Face of Climate Change:	
Dan Kammen (UC Berkeley)	193

INDEX

	PAGE
Public Comment	212
Roundtable Discussion: Using Science to Create a More Resilient Energy Sector - Roundtable Discussion	218
Moderator: Susanne Moser (Independent Consultant for Stanford University)	
Panelists: Valerie Winn (Pacific Gas & Electric) Manuel Alvarez (Southern California Edison) Bud Beebe (Sacramento Municipal Utility District) Dennis Peters (California ISO) Steven Kelly (Independent Energy Producers Association) Randy Howard (Los Angeles Department of Water & Power) Michael Hanemann (UC Berkeley) Dan Cayan (Scripps) Dan Kammen (UC Berkeley)	
Closing Remarks	259
Adjournment	260
Certificate of Reporter	261

1 P R O C E E D I N G S

2 APRIL 30, 2012

9:34 A.M.

3 MS. KOROSEC: I'm Suzanne Korosec. I manage the
4 Energy Commission's Integrated Energy Policy Report Unit.
5 Welcome to today's IEPR Workshop on Climate Change and
6 the California Energy System.

7 Just a few quick housekeeping items before we get
8 started. Restrooms are in the atrium through the double
9 doors and to your left, we have a snack room on the
10 second floor at the top of the atrium stairs under the
11 white awning, the atrium stairway is blocked due to
12 construction, so you'll need to take the elevator to get
13 to the second floor. If there's an emergency and we need
14 to evacuate the building, please follow the staff out to
15 the park that's across the street diagonal to the
16 building and wait there until we're told that it's safe
17 to return.

18 Today's workshop is being broadcast through our
19 WebEx Conferencing System and parties do need to be aware
20 that you are being recorded. We'll make an audio
21 recording available in about a day or two after the
22 workshop and a written transcript will be available in
23 about two weeks. We plan to have two 10-minute breaks
24 during the morning and afternoon sessions, and expect to
25 break for a one-hour lunch around 12:15. We've also set

1 aside time at the end of the day for more general public
2 comment and, at that time, we'll take comments first from
3 those of you who are here in the room, followed by those
4 who are participating on WebEx.

5 At any time during today's discussions, if you're
6 making comments or asking questions, please come up to
7 the center podium and use the microphone so that we can
8 make sure that the WebEx people hear you and that your
9 comments are captured in the transcript.

10 WebEx participants can use either the chat or
11 raised hand function to let our WebEx Coordinator know
12 that you'd like to ask a question or make a comment, and
13 we'll either relay your question or open the line at the
14 appropriate time.

15 We're also accepting written comments on today's
16 topics until close of business on May 7th, and the Notice
17 for today's workshop, which is available on the table in
18 the foyer, and also on our website, explains the process
19 for submitting comments to the IEPR Docket. So with
20 that, I will turn to the dais for opening remarks.

21 COMMISSIONER PETERMAN: Good morning, everyone.
22 Welcome to everyone in the room and on WebEx. Pleasure
23 to have you here today. This is Commissioner Carla
24 Peterman. It's my pleasure to welcome you as Lead
25 Commissioner on the 2012 IEPR to today's workshop on

1 Climate Change and its impacts on the California Energy
2 System.

3 For those of you who have been following our IEPR
4 process this year and last, you'll note that we've spent
5 a lot of time, a number of workshops, focused on the
6 energy system, in particular, and how to make a system
7 that is cleaner, smarter, and more reliable. And one of
8 our main drivers for doing this is the impact that
9 electricity has on climate change. As we move forward,
10 however, and as we work to make a cleaner system, that's
11 a process that will take a number of years, that all of
12 us will be engaged in. In the mean time, climate change
13 is continuing and it's continuing to impact our
14 electricity grid.

15 Today's workshop focus is to look at some of
16 those impacts and think about how can we mitigate some of
17 them, and what are adaptation strategies as we move
18 forward. This is a nice follow-up to a conference that
19 the Governor had on climate change, and we're excited to
20 be a continued part of that effort to address these
21 issues.

22 We have a number of exciting panelists here
23 today, as well as representatives from various agencies
24 and the Administration, I'm glad you could join us. I'm
25 going to turn now to Chairman Weisenmiller for his

1 introductory remarks, and then we'll introduce everyone
2 on the dais. Thank you.

3 CHAIRMAN WEISENMILLER: Good morning. I'd like
4 to thank everyone for their participation today and also
5 to thank the staff for helping organize this event. As
6 you know, I'm not only the Chair, but also scientist on
7 the Commission, and so one of the areas that is very near
8 to my interest is the science of climate change effects.
9 But I'm also the Lead Commissioner on R&D, so, again,
10 looking forward to today's conversation. I think all of
11 us understand that there's a real nexus between energy
12 and the environment, just about every way that we have
13 that produces energy has some effects on the environment
14 and, at the same time, one of the most fundamental of
15 those effects is climate change. It really affects the
16 well being of the globe. And so we've had a lot of focus
17 in our PIER research on climate change issues, and it's
18 an opportunity today to bring some of that to the fore.

19 We've also, in most of our conversations, we've
20 looked at the effects of climate change in terms of what
21 we're doing with energy production that results in
22 potential climate change, both in terms of greenhouse gas
23 emissions, both CO₂ and methane.

24 But today we're going to look more at what the
25 effects of climate change are on the energy systems, and

1 obviously one of the scarier aspects could be if we have
2 feedback loops between climate change affecting energy
3 and accelerating some of our energy use, and then having
4 greater climate change from that. But, again, I think
5 all of us are looking forward to a very interesting day
6 and, again, thanks for your participation.

7 COMMISSIONER PETERMAN: Thank you. So, joined on
8 the dais here on my left, my Advisor, Saul Gomez, and to
9 my right we have Commissioner Catherine Sandoval's
10 Advisor from the Public Utilities Commission, Colette
11 Kersten joining us, glad to see our sister agency here on
12 the dais. And coming forward we have Commissioner Karen
13 Douglas. So obviously we have the three Commissioners
14 that are currently sitting on the Commission present at
15 this workshop, that's a rarity, but it just highlights
16 the absolute importance of this topic for the Energy
17 Commission, and how it crosses the various areas over
18 which we respectively lead. So with that, we'll turn to
19 our next invited speaker, Secretary John Laird, Secretary
20 of the California Natural Resources Agency. Thank you
21 for being with us, Secretary.

22 SECRETARY LAIRD: Thank you very much. And thank
23 you for having this workshop, and thank you all for
24 participating. I know a number of you are on panels and
25 people are here to learn and figure out how to act.

1 And I thought, in giving some introductory and
2 welcome comments, I would sort of from my perspective
3 frame this issue of what the backdrop is that leads for
4 this in many ways, and I come at it from a number of
5 different directions, and one is, in my checkered past, I
6 spent nine years in elected office at the local level as
7 a Mayor and City Council member. It was virtually the
8 entire 1980's. And when that happened, we had the
9 misfortune in the Santa Cruz area to, in that period of
10 time, have six federally declared disasters. And every
11 one of them raised the issue of energy provision in ways
12 that I wouldn't have thought of. Within six weeks of
13 being on the City Council, we had the 100-year storm. In
14 36 hours, it rained 16 inches in the Santa Cruz Mountains
15 above the City. Our main transmission line into the
16 County through Waterman Gap fell victim to landslides
17 that brought the transmission lines down in ways that I
18 wouldn't have thought about it. And as the river came
19 close to flooding in downtown Santa Cruz, 75-foot Redwood
20 trees battered down some of our bridges that carried
21 transmission lines and water lines across, and knocked
22 out service in different ways.

23 And then, as we went through the fire that burned
24 through the Santa Cruz Mountains, that affected
25 transmission, when we had the storms that led to such

1 incredible erosion along the coastline, that was a
2 disaster, that raised questions that are now mirrored by
3 the work that underlies this very conference.

4 In addition to being Secretary of Resources,
5 which is charged with adaptation, the Environmental
6 Protection Agency is charged with reducing emissions, and
7 that half of climate change. But the Resources Agency
8 deals with adaptation. And I chair the Ocean Protection
9 Council, and as I mentioned, at the Governor's Conference
10 in December that you referenced, our scientists with the
11 Ocean Science Trust Affiliated did long work to identify
12 what the impacts and what we could expect from sea level
13 rise along the California Coast. And it was great
14 because, for the first time, it was science. And they
15 looked at what the medians would be for sea level rise
16 based on everything, and by 2050, they're estimating that
17 it would be 14 inches along the California Coast and
18 Bays. And by 2100, it would be 55 inches, five and a
19 half feet. And those are the medians. And the reason
20 they're medians is that, if we're successful in lowering
21 emissions as per AB 32, maybe that's high. And if we're
22 not successful worldwide, maybe that's low.

23 And so it balances the question because the
24 Governor got this question in the opening panel from a
25 *New York Times* reporter that I thought at the time was a

1 little strange. Well, what's your priority? Adaptation
2 or reducing emissions? As if it was a choice. And it
3 was not a choice. And today you're looking at it going
4 both ways, which is how is energy key to lowering
5 emissions and lowering the need to adapt because you have
6 less emissions, but very much we're going to have to
7 adapt any way you look at it, the question is how much
8 and how do you deal with energy systems that have to
9 adapt to that change?

10 And in the Resources Agency, we're dealing with
11 all these questions that are profound. Fish & Game is
12 dealing with the fact that certain habitats will change
13 elevations due to climate change, and how do you deal
14 with wildlife paths? How do you deal with them being
15 able to survive in certain habitats. We have water and,
16 if the Sierra snowpack is, in fact, going to be 48
17 percent of what it is now in 2100, how does that change
18 our entire water collection system? And we have fire.
19 So if forest fires are changing and are more severe, how
20 does that affect how we fight fires and try to prevent
21 them?

22 And all these things affect energy, both in what
23 are cited and how you deal with it, and as somebody that
24 was Mayor of a Coastal Government, trying to contemplate
25 a 5.5-foot sea level rise when we had all these sea level

1 treatment plants and outflows and gravity flow to them,
2 gravity-flowed water systems that are done the same way,
3 trying to think of how you change and how over time you
4 do it, the real problem is, Al Gore did a great job of
5 convincing people that we have an issue on emissions and
6 that we have to change our habits, but we have yet to
7 have the same job on the adaptation side where people
8 understand exactly what it means and start to think, and
9 start to adapt in ways that really have to start to be
10 made in decisions. If you're siting things that have a
11 50 or 75-year life, what's the world going to be like
12 near the end of that life?

13 And I know, one of the interesting things for me
14 is the very charge of the Energy Commission in siting
15 alternative and renewable energy projects. And when I
16 was, I think, in my third week of Secretary of stepping
17 out to my first thing, I was keynoting the Planning and
18 Conservation League Annual Symposium, and there was a
19 huge line of people afterwards and there was this guy
20 near the end of the line that walked up to me and said,
21 "I work on the siting of renewables and I work on the
22 environmental side," and I had to say to him, "Well,
23 which side is that?" And it turned out that what he
24 meant was that he works on the side that fights for
25 habitat protection and didn't consider renewable energy

1 to be the environmental side of the equation. And so it
2 just shows the challenges that we face. And I know,
3 since I have all sides, I have the people that want to
4 protect habitat, and the people that want to site energy,
5 and then the responsibility for adaptation, I know that
6 we have to work that out, that we have to have it happen.

7 And so I just wanted to lead off today with sort
8 of setting that tone because, a lot of times when I
9 attend conferences like this, people are so good about
10 their area of expertise, but you always have to remember
11 why we're doing this and why it's important and why we
12 don't have the option to ignore these issues and run away
13 from them. We have to look into them directly and
14 resolve them.

15 So, I apologize for not being able to stay for
16 the day, I would actually love to, because I have to rush
17 off to a number of conflicts that require my attention,
18 but I would prefer to be here. And I want to thank you
19 for showing the leadership to do this and wish everybody
20 luck in their deliberations today.

21 COMMISSIONER PETERMAN: Thank you, Secretary.
22 [Applause] Your comments reminded me of the workshop
23 that we just had a couple weeks ago on net benefits of
24 renewables, where we talked about some of the benefit of
25 certain renewables being able to reduce water usage and

1 fire hazard, and so, indeed, you're right, they're all
2 interconnected. Good luck with the rest of your day.

3 Next will be joined for opening comments by Wade
4 Crowfoot, who is with the Office of the Governor.

5 MR. CROWFOOT: Thanks so much, Commissioner
6 Peterman, Chairman Weisenmiller, and Commissioner
7 Douglas. I'll be fairly brief because I know those who
8 are attending today want to get into the meat of the
9 conversation here. But first I just wanted to thank you
10 on behalf of the Governor for holding this conversation.
11 We view this as an outgrowth of a conversation that
12 started back in December, and from our perspective, after
13 that December conference, it was really important for the
14 Governor's Office that relevant agencies started to
15 unpackage the many issues and questions that were raised
16 in that conference.

17 And I want to talk about that conference a little
18 bit, but just to give you a little bit of context for the
19 Governor's interest in this issue, clearly energy and
20 climate change are two primary priorities for Governor
21 Brown. He's moved aggressively on energy policy largely
22 through the work of the CEC and the CPUC, implementing an
23 RPS on the verge of establishing some, once again,
24 landmark energy standards, the Governor's 12,000 megawatt
25 goal for small scale or distributed generation, clearly

1 we have a very broad and aggressive agenda for
2 transitioning the energy system to a highly efficient
3 renewables-based system, and electrifying transportation.
4 And that's really the long term vision, is to transition
5 our energy system in a way that not only benefits the
6 economy and consumers, but one that in a way allows us to
7 be international leaders reducing greenhouse gas
8 emissions. And I think that leadership is fairly well
9 known.

10 In 2011, the Governor really opened up a new
11 conversation on climate change, or at least an extended
12 one that had been occurring, probably getting less
13 attention than greenhouse gas mitigation, or the effort
14 to reduce greenhouse gas pollution, and that is really
15 preparing California for the impacts of climate change
16 and protecting our economy and communities from those
17 impacts.

18 To date, our perspective from the Governor's
19 Office was that climate change was an important issue for
20 people, but one that really was hard to have a grounded
21 conversation about. In other words, it was a global
22 issue, it was an international issue, but what does
23 climate change mean to California? And the Governor had
24 a conversation with Rajendra Pachauri, who is the head of
25 the Intergovernmental Panel on Climate Change at the

1 United Nations, earlier last summer and they got to
2 talking about the need while we're taking action to
3 reduce greenhouse gas pollution, to actually prepare the
4 world for impacts that are already here. And Governor
5 Brown actually himself came up with the idea of having a
6 high profile conference to really start this
7 conversation, a better understanding of how climate
8 change will actually impact California, and what we
9 should be doing about it.

10 So the December conference did just that. We're
11 blessed in California to have some of the world's best
12 scientists and researchers, some of them you'll hear from
13 today, who have actually sought to understand how this
14 international and global phenomenon of global warming and
15 climate change impacts California's environment. And the
16 first part of the December conference really delved into
17 what the science is telling us. And one of the key
18 takeaways I call the Big Four Impacts in California in
19 terms of the physical impacts, are 1) reduced reliability
20 of water supplies, obviously of major importance to the
21 economy and communities, 2) heightened or increased or
22 lengthened wildfire season, which has great impacts and
23 threats all over the state, and 3) is the increased
24 vulnerability to large storms or storm surges,
25 particularly on a coast with increased sea level rise,

1 and then the fourth impact, at least that I remembered
2 and was really impressed by, was increased heat in
3 California. And that heat, as you'll hear from Dr.
4 Auffhammer, not only has an impact on public health, but
5 also the energy system. And so these four impacts, and
6 many more that we heard about, actually have a number of
7 very specific implications on the energy system, and that
8 was one of our key takeaways that morning, was there
9 needs to be very proactive visionary strategic planning
10 to anticipate these impacts on the energy system.

11 And then the second part of that conference in
12 December focused on what local governments and what state
13 governments should be doing about this. Again, climate
14 change as an issue at large is fairly daunting to try to
15 understand what a local community or a state government
16 can do to protect citizens and communities against
17 climate change. But the December conference started to
18 delve into what are common sense actions that make
19 economic sense that can occur across the state to really
20 prepare and protect California.

21 Coming out of the December conference, we've had
22 several complementary events, most recently in Los
23 Angeles with local governments from throughout the state,
24 to really delve into that question of what can local
25 governments be doing in this economy, recognizing

1 resource limitations, that are smart investments in not
2 only preparedness and protection of their communities
3 against these impacts, but also that have co-benefits,
4 whether it's the creation of a park, or the planting of
5 street trees. And so we've come away from that
6 conference two weeks ago very optimistic.

7 Undersecretary Laird's and Secretary Rodriguez's
8 leadership, the Resources Agency and CalEPA are being
9 very proactive on this question of climate adaptation or
10 preparedness. Later today you'll hear from Julia Levin
11 at the Resources Agency talking about an update, I think,
12 that the agency is leading regarding adaptation planning
13 in the state. And then you'll hear from a colleague of
14 mine at the Governor's Office of Planning and Research
15 named Michael McCormick, talking about these very
16 impressive regional efforts that are occurring in San
17 Diego, Los Angeles, the Bay Area, and Sacramento, that
18 are bringing local governments together to try to engage
19 in some team work around taking action on climate
20 adaptation.

21 So as I said, we're very excited with the
22 progress that's happening. This is a clear priority of
23 Governor Brown, and so I just want to thank you and let
24 you know that the work you're doing here today and the
25 comments from both agency staff and members of the public

1 will be quite important to our sort of policy making in
2 the coming months and years. So, thank you.

3 COMMISSIONER PETERMAN: Wade, thank you very
4 much, and thank you to the Governor for his leadership in
5 this area. [Applause]

6 So I believe with that, we'll turn it over and
7 let the content begin.

8 MS. KOROSSEC: All right, we'll start with our
9 morning discussion which is on Direct Impacts of Climate
10 Change on the California Energy System. Our first
11 speaker is Laurie ten Hope, the Director of our R&D
12 Division here at the Energy Commission.

13 MS. TEN HOPE: Good morning. This is going to be
14 an exciting day, I'm really looking forward to it. I'm
15 Laurie ten Hope, Deputy Director for Research at the
16 Energy Commission and I'm going to kick off this first
17 panel on what our research strategy is on impacts and
18 adaptation options for the energy sector.

19 I'm going to briefly provide some historical
20 context for our research portfolio, the highlights of
21 direct and indirect impacts of climate on our energy
22 infrastructure, and how we might think about the
23 evolution of our energy system, given a lot of
24 uncertainty, but a need to think and plan early for
25 changes we can anticipate.

1 So first, a little bit of historical context.

2 PIER has been engaged in climate change research since
3 2001 and, at that time, started in really looking at the
4 whole process of energy production, transport and use,
5 the emissions from the energy sector that have an impact
6 on GHG emissions and then, conversely, how climate change
7 could be affecting our energy infrastructure going
8 forward.

9 In 2003, we created a virtual organization known
10 as the California Climate Change Center and it was the
11 first State sponsored climate change research program in
12 the nation. Our strategy really has been to complement
13 research that's been done at the Federal level and one of
14 the key cornerstones was to take worldwide models and
15 pull those models down to more of a state and regional
16 level where potential climate change impacts could be
17 really analyzed on a local level so that planning and
18 mitigation strategies really could be utilized.

19 We've created several scenarios with the
20 researchers here that are in the room, that provide us
21 insights into climate and sea level scenarios for
22 research and long term planning. You see some of the
23 products that are highlighted here on the slide and many
24 more products that have both informed policy, like the
25 changing climate that was helpful in the thinking and

1 analysis that went into AB 32, to Cal-Adapt which is
2 taking some of the research results and putting them into
3 a visual tool that helps local governments both visualize
4 local impacts and start planning for potential long term
5 strategies that will mitigate the impact of climate
6 change, other products that are providing some insights
7 into our potential changing snowpack and hydro resources,
8 these are just a few of the products that have been
9 developed to inform policy and our energy infrastructure
10 planning.

11 These are a little bit of -- perhaps tooting our
12 own horn -- but these are quotes on the value of the
13 research, both starting at the top at the development of
14 AB 32, and how some of the research was important to
15 CalEPA in the foundational analysis that was done for AB
16 32. And then, the last quote I'd point out is from the
17 San Francisco Bay Conservation Delta Commission on how
18 useful the research is in localized planning.

19 So I just want to provide brief context for sort
20 of the historic focus of our climate research here at the
21 Commission, and how the research has evolved over the
22 course of the last year. So, historically, starting in
23 2001, we had four research focus areas, Climate Analysis
24 and Modeling, GHG Inventory Methods, Options to Reduce
25 GHG Emissions, and Impacts and Adaptation Studies.

1 Over the course of the last year, based on input
2 from stakeholders in our PIER Policy Advisory Board, our
3 Commissioners, and efforts by other agencies to start
4 doing more research in adaptation and mitigation, we've
5 really focused now on -- we're continuing the climate
6 analysis and modeling, it's critical to understanding how
7 climate can potentially change in California impacts, all
8 sectors, not just energy, but it's critical for
9 understanding energy.

10 In the GHG Inventory Methods, we are not doing
11 any new work in that area, the Air Board is doing quite a
12 bit of work in that area, and we've narrowed the options
13 to reduce GHG emissions and our adaptation studies,
14 specifically to the energy sector.

15 A look ahead -- our colleagues at the Public
16 Utilities Commission are in the middle of a proceeding
17 for EPIC, the Electric Program Investment Charge. We're
18 optimistic that this will provide funding for the broader
19 clean energy research and development in the areas of
20 efficiency, renewables, and perhaps climate. The guiding
21 principle is really that the benefits of the program need
22 to return to the electricity ratepayers. And the
23 Proposed Decision that was issued last week includes
24 these guiding principles for the research that's funded
25 and it includes bullet 2, GHG Emission Mitigation and

1 Adaptation that we're talking about today.

2 My understanding is comments and reply comments
3 will occur this next month with an expected decision
4 acted on in the end of May, so we look forward to that.

5 So let's talk a little bit about the Impacts of
6 Climate Change to the Energy System, the focus of our
7 workshop today. I think, as most of us here know,
8 climate change is projected to have significant impacts
9 on our energy infrastructure, from impacts on energy
10 demand, both in terms of increased energy use for
11 cooling, hot, dryer climates, and also an impact on peak
12 demand, and peak demand is our most expensive energy
13 cost, so it has a potential cost impact for all of us.

14 With the hotter temperatures, we would anticipate
15 decreased power plant efficiency. And, again, on those
16 hotter days when power is the most scarce and the most
17 expensive, we would anticipate a reduction in thermal
18 power plant efficiency. We could anticipate a decrease
19 in heating load, which in one way is a good thing, and
20 from a cost perspective to consumers, but something we
21 need to think about in terms of the long term efficiency
22 measures that we support through either building
23 standards or incentive programs in terms of putting
24 emphasis on the measures that will be the most cost-
25 effective in the long run. It may change the

1 availability of hydro power and potential risk of
2 flooding to coastal power plants. You will be hearing
3 both this morning and this afternoon on research in all
4 of these areas and we'll provide a lot more insight into
5 what some of the direct impacts are potentially that we
6 face, and perhaps more importantly, how can we start
7 planning to reduce that impact.

8 In addition to the direct impacts, we are
9 concerned about potential indirect impacts, and a couple
10 of examples are wildfires and the risk that provides to
11 transmission lines and, as the Secretary spoke, the
12 potential ecological impacts on the siting of energy
13 facilities. So this is already a consideration in the
14 Energy Commission's siting of power plants, particularly
15 the larger renewable power plants, and insights that will
16 provide a smarter mitigation strategy, so that, as
17 ecological research matures and we have an idea of
18 potential migration patterns, we think about that in the
19 lands that are set aside and the sites for our future
20 power plants, so that we can have both, we can have our
21 renewable resources and mitigate the impact.

22 Finally, we have some exciting research on
23 looking at how the energy system may change looking out
24 to 2030, 2040, 2050, and what our resource mix might be,
25 what our energy balances might be in terms of our total

1 fuel input/output, what our long term energy efficiency
2 potential could be, what our renewable and fossil mix
3 might look like, and then what are the environmental
4 implications of these various scenarios. There's
5 obviously a lot of uncertainty in terms of climate
6 projections, what our fuel mix will be, where those will
7 be sited, but research is providing us some insights that
8 facilitate long term planning.

9 And with that, I'm going to turn it over to the
10 Research Panel and look forward to their presentations.
11 Thank you.

12 MS. KOROSEC: Thank you, Laurie. Our first
13 speaker is Dan Dayan from Scripps to talk about
14 Historical and Projected Climate in California.

15 DR. CAYAN: Well, good morning. It's a pleasure.
16 I was told I'm not close enough. Is that good? Can you
17 hear me? A pleasure to be here. I'm going to try to set
18 the stage for colleagues who are going to be talking
19 about applications of climate change. And I think what I
20 want to emphasize is this transition phase that we're in
21 right now towards a climate that our historical intuition
22 will no longer serve us as it has in the past.

23 This is a -- this picture shows the underlying
24 largest constituent of greenhouse gas emissions, carbon
25 dioxide, the emissions under various scenarios are shown

1 here at the bottom as we move into the 21st Century.
2 Today we are at a level of emissions of somewhere between
3 9 and 10 gigatons of carbon and, depending on the
4 scenario, we will either increase steadily through the
5 century, or perhaps, of course, if policies are
6 successful, and perhaps technology will be able to level
7 and then decline. The result of those emissions, because
8 greenhouse gases such as CO₂ have a long atmospheric
9 lifetime, shown here at the top, so perhaps if lucky
10 we'll only double the pre-industrial level of CO₂ by the
11 end of the century, if we're unlucky, we will triple that
12 concentration. So there's critical sort of decisions and
13 impacts of those decisions as we go forward.

14 This is a time slice of temperature drawn for
15 Sacramento. Laurie mentioned the downscaling activity
16 that the science community has been doing, so here's an
17 example. Models are run both retrospectively, as well as
18 prospectively. We're showing here the projected period
19 as these colored areas. This is from the previous
20 generation of global climate models, the fourth IPCC
21 assessment, and there's two different emissions scenarios
22 shown here, the lesser one is blue and the greater one is
23 green. Important on this figure is the envelope of
24 natural variability, which is represented by the ensemble
25 of these 14 models that are presented here in this chart,

1 so you can get an idea of the natural level of
2 fluctuation of our climate here in California.

3 What's interesting is, as we move forward, as
4 seen by, in this case again, 14 models, the median model
5 projection essentially crosses the level, the upper level
6 of the envelope of variability, by about 2030. So, in
7 some sense, you could say by 2030, the average climate is
8 moving outside of the top of the envelope of what we've
9 experienced. So that's really not that far ahead and, of
10 course, one of the discussions and actually one of the
11 intentions we've had in talking with users such as the
12 utility community is that they're not so concerned with
13 2100 because a lot of the decisions that are facing them
14 are in this shorter period. But, in fact, in that
15 shorter period, we're actually seeing in the model
16 substantial evidence for change.

17 Now, this is the same models, but these models
18 now are their rendition in the fifth IPCC assessment,
19 which, of course, is an ongoing exercise, which will be
20 released in a couple of years. But essentially what we
21 see is not too dissimilar results from the previous
22 assessment, which in I guess some sense is good news, in
23 that we've based a lot of our efforts on looking at the
24 previous assessment.

25 Another point to be making here is that, because

1 of the inertia in the system, the results of policies,
2 that is, the differences between emission scenarios,
3 lower, medium, higher, really doesn't become evident,
4 does not become distinguished, until about the middle,
5 perhaps early middle part of the 21st Century. That's,
6 of course, one of the wicked parts of this problem, and
7 that's one reason why we have such a public debate, is
8 that we can't really see the results of policy actions
9 immediately. We really have to rely on science to tell
10 us what's coming forward. But, indeed, you can see the
11 enormous consequences of the higher emissions trajectory
12 as we go forward.

13 This is a step back now to look at observations,
14 and this is a measure of heatwaves at a set of districts
15 across California, by colleagues of mine, Alexander
16 Gershunov and Kristin Guirguis, who have looked at
17 heatwaves which are primarily accentuated in their
18 daytime heat expression, and those which have been
19 characterized by having a strong nighttime
20 characteristic. What they have found is that the daytime
21 heatwaves have essentially oscillated about a natural
22 variability level with some low frequency variation, but
23 the night time heatwaves actually have really become much
24 more prominent in the last couple of decades. So this
25 obviously has some implications on users and heat demand

1 and comfort levels, and probably human health. This is a
2 thing that we'll need to be looking at as time goes in
3 the future.

4 You can look at the Cal-Adapt site, which Laurie
5 mentioned in her remarks, to get various scenarios of
6 heatwaves. And, of course, one of the important things
7 to remember is that not only is mean climate changing,
8 but as the mean changes, also goes changes in
9 distributions of the extremes. And the extremes in a
10 sense become, a) more frequent, b) more intense, and c)
11 more durable, longer lasting. All those factors, of
12 course, have great impacts on energy and energy
13 consumption. So a couple of different scenarios there.

14 A couple of other features to take note of from
15 the models is that, when we look at summertime heating
16 over the North American Continent, in fact, any middle
17 latitude Continent, we see more warming in the interior
18 than we see along the coastline and, interestingly, we
19 see more warming in the summer period than we do in the
20 winter, that's this little inset that is shown here at
21 the bottom. Both of those factors, of course, again play
22 into energy demand consumption if you think about the
23 moving population and development in California, the
24 coastal area is pretty much subscribed, development going
25 on in interior valleys, this plays a strong role.

1 When we look at different models, of course, and
2 look at the incidents of hot days, there is quite
3 variability from model to model, as well as scenario to
4 scenario. So that's something that has to be accounted
5 for. There's a lot of uncertainty. This is not a
6 precise predictive science that we have at this point;
7 we're looking at scenarios for a reason.

8 This is precipitation and this is the summary,
9 again, of the same 14 models, and I haven't shown you the
10 spaghetti because it is so noisy, so I've only shown you
11 the smooth median and the median from the two sets of
12 model runs, one a lower scenario, one the higher
13 scenario. The message here is that, well, we can expect
14 quite likely to have great variability in the future in
15 California's precipitation regime as we've had in the
16 historical past, there's not too much evidence that
17 there's going to be strong changes in Central California.
18 When we look, however, as things unfold over the early,
19 middle, and latter part of the 21st Century mapped out
20 here over the West, in fact, the whole U.S., what you
21 notice is that the southern part of the state, in
22 particular, shows some tendency to become drier.

23 The other thing that should be mentioned is that
24 there is some interesting seasonal texture to these
25 changes, and I believe David Pierce, who is going to talk

1 this afternoon, might mention that in his results. There
2 is important implications for the hydrology in
3 California, the Resources Secretary Laird mentioned this
4 in his remarks, and we've already seen over the western
5 part of the country a strong signature of warming to the
6 tune of about 10 percent decline in April for snow water
7 equivalent, that's the red. Red changes mean lower, blue
8 higher, higher in the higher Sierra for reasons that I
9 won't bother to get into today, but it's certainly
10 explainable. We've seen the early signs of warming over
11 a wide footprint across the Western U.S., including
12 California, here in our snowpack which, of course, we
13 rely on.

14 Interestingly, as snowpack goes from today's
15 situation to a warmer climate, snow lines being higher,
16 water is essentially going to become less manageable,
17 early runoff more volatile and, of course, that has
18 implications not only on ecosystems and so forth, but
19 also on water management and probably hydropower.

20 This is a look at the California snowpack played
21 out over many simulations, actually 32 of them here, as
22 we go on into the future. And what you notice here is
23 that in the future, each dot being an April 1st of a
24 given year from a given model, there are still years when
25 there's relatively ample snow, but on the whole there is

1 a climb and, as you look at this in sort of a
2 probabilistic sense, what was the odds of median or
3 greater snowpack being, of course, at 50 percent,
4 historically, declines to about 10 percent by the end of
5 the century. And, of course, we're really in that
6 decline as we speak, in a very volatile system.

7 Sea level rise was mentioned by the Secretary
8 and, of course, sea level rise by itself is not always
9 such an insurmountable problem, but the fact is that we
10 have winter storms on this coast that generate large
11 waves and, when sea level rise, high tides, and big
12 storms coincide, we have a prescription for a lot of
13 problems.

14 Along our coast, by and large, we've seen sea
15 level rise -- this is the San Francisco record, which is
16 the longest record along the West Coast, for a tide
17 gauge, matches pretty well what is made to be the global
18 rate of sea level rise, so we can probably expect
19 California to go along with global rates of sea level
20 rise.

21 This is an envelope of projected sea levels in
22 San Francisco under that assumption from a set of model
23 simulations. This is the historical rate, this is the
24 projected future rate. I have to note that the Secretary
25 didn't quite get it right when he said that 55 inches was

1 the median that was projected, actually, 55 inches of
2 mean sea level rise is at the high end. We would expect
3 something like 36 inches to be sort of in the middle of
4 this envelope. There's an NRC report that will be
5 emerging within the next few months that will inform that
6 in more detail.

7 One thing to note is that, as mean sea level
8 rises, the incidence of extremes, similar to the
9 incidence of temperature extremes, will increase, and
10 actually increase quite markedly. This is mean sea level
11 here and this is the hourly extremes above the level that
12 would occur historically, less than once a year, which
13 goes from less than once a year to many many times a year
14 under a scenario here that actually is on the higher end
15 of -- well, actually about the middle range of what I
16 showed you earlier.

17 So to summarize, we're already seeing the signs
18 of warming. Projections are indicating not only long
19 range, but shorter range issues. There's many impacts
20 you're going to hear more about, things like wildfire, in
21 the remarks to come. There's continued need for
22 regionalizing what we're seeing from these global models
23 and I think there's a lot of room for interactions across
24 disciplines and with the applications community to take
25 this discussion further. Thank you.

1 CHAIRMAN WEISENMILLER: Thank you. [Applause]

2 I have one question. Secretary Laird indicated one of
3 the things we do is siting and that tends to have, say, a
4 30 to 50-year time scale. The other thing we do is
5 planning, and our planning exercises tend to be more
6 centered around 10 years, although we look at five and we
7 look at 20. And in the 10-year context, just trying to
8 tease out the implications of what this means for our
9 planning activities, and obviously one of the things that
10 is pretty clear is you see a lot more volatility. And
11 so, in our 10-year planning exercises, we tend to look in
12 expected case -- one and two, but also a one and 10 case
13 -- and so part of it is trying to understand as we look
14 at, say, the demand forecast, or hydro, or other things,
15 you know, how much will we be seeing the impacts in the
16 next 10 years, and how much will we be incorporating that
17 better into our planning models?

18 DR. CAYAN: I think in the next -- in the 10-year
19 horizon, you certainly have to pay attention to the
20 historical record as a strong guide to what could happen
21 within that interval. Within 10 years, because natural
22 variability in California is quite large, particularly if
23 we're talking about something that's hydrologically
24 flavored, there is going to be a strong uncertainty
25 because of inter annual to decadal variability. The same

1 thing goes with temperature. Temperature is not quite as
2 volatile as precipitation, but there are methods, of
3 course, to understand at least the context of that
4 variability and the statistical nature. But as far as a
5 precise in-phase prediction along that 10-year
6 trajectory, that's really beyond the state-of-the-art at
7 this point.

8 CHAIRMAN WEISENMILLER: Thank you.

9 MS. KOROSSEC: All right, our next speaker is Max
10 Auffhammer from U.C. Berkeley, who will be discussing
11 Electricity Demand in a Warming World.

12 DR. AUFFHAMMER: Thank you very much for inviting
13 me. This seems to be the all climate all the time period
14 of my life. The IPCC Report for Working Group 2, the
15 first of our drafts are coming out in two weeks, or are
16 due in two weeks, so we've been locked away in Holland
17 with dial-up connections, so I apologize, the title of my
18 slides was wrong, which we're fixing. So what I'm going
19 to do and talk a little bit about is talking about --
20 thank you -- one of the aspects of the energy system
21 which is projected to be significantly impacted by
22 climate change going forward is the electricity demand
23 side. It's the only side that you often see the Press
24 and public talking about, but I just want to make clear,
25 this is not the only aspect. Of course, everybody in

1 this room knows this, but you can't say it often enough.
2 So it gets warmer, we cool more, it gets warmer in the
3 winter, we heat less. That often affects different fuels
4 since we tend to cool with electricity, and heat with
5 other fuels in most households. But there's other things
6 that happen. Larry Dale is going to give you a very
7 thrilling presentation this afternoon about the last four
8 bullet points here, which are the impacts of the energy
9 system that will be impacted, or anticipated to be
10 impacted by climate change, which have to do with
11 transmission efficiency if the Grid -- the efficiency of
12 power plants during hot periods, wildfire risk, which is
13 going to, or is expected to affect transmission lines,
14 either directly or indirectly, and also sea level rise
15 associated with power plants, or substations, that are
16 located near water.

17 I am only going to talk about the first two
18 bullets here, which is cooling demand and heating demand.
19 This is, of course, a very sort of summary presentation,
20 we could talk about this for days on end, and I only get
21 14 minutes, so let me get right to it.

22 One of the big pictures that we should keep in
23 mind here is, when we talk about climate change, we
24 always think about end of century. As somebody who is
25 involved in the IPCC Working Group 2, Detection and

1 Attribution Chapter, I've been spending a lot of time,
2 instead of looking forward, looking the other way and
3 looking at existing data and seeing whether one can tease
4 out impacts of climate change on existing electricity
5 demand.

6 So here's a picture that would lead us to believe
7 that, if it gets warmer, we would see impacts. This is
8 this famous, or at least in my household, famous picture
9 now of u-shaped electricity load, this is for the
10 California ISO, and temperature. So what you see here is
11 that, at low temperatures, if it gets warmer, this u-
12 shape drops meaning there's less electricity demand.
13 This is the fuel all-electric households, and also
14 natural gas heated homes where fans are operated less
15 frequently, so you consume less electricity. But as soon
16 as it gets warmer, and this is population-weighted
17 temperature here for the State of California, or for the
18 ISO territory, you see this rather steep increase in
19 electricity load during hotter days. This gray histogram
20 you see there is the distribution of temperatures in that
21 data set. And this is a figure that is not published
22 yet, but it's my own calculations and hopefully this will
23 be published at some point.

24 But it's key to note that the impacts here at the
25 higher end of the temperature distribution are quite

1 significant. The blue dashed line indicates a 25 percent
2 increase over what the load would be, temperature
3 corrected, for the 60 degree temperature. So these are
4 big impacts. This is observed data, this is not modeling
5 towards the end of the century, and this is what we're
6 seeing currently.

7 Now, what you see in the current literature, and
8 much of it is still in working paper form in varying
9 stages, but there are several peer reviewed papers out
10 now and some working papers and some reports which have
11 looked at this issue going forward -- what is going to
12 happen to electricity demand by end of century, or in the
13 near and medium term, 2020, under climate change? So the
14 first paper that looks at data and tries to establish a
15 statistical relationship between these two that I could
16 find is a paper by Guido Franco and Alan Sanstad that in
17 2008 in climatic change, which also looks at this ISO
18 load data, and finds that electricity consumption overall
19 -- this is all sectors consuming electricity -- increases
20 by 4.8 to 17.8 percent by end of century. Now, this is
21 consumption, this is annual consumption added over all
22 months of the year.

23 The point that we should all keep in mind
24 throughout is that these impacts are going to be bigger
25 in the summer than they're going to be in the winter.

1 This large band of impacts here, the source of
2 uncertainty or range of uncertainty here, doesn't really
3 come from the relationship between electricity demand and
4 weather, the statistically estimated impact here, but it
5 comes from the range of predictions from these climate
6 models that Dan talked about. There are some that
7 predict more warming and some that predict less warming.

8 The more important thing, our most expensive
9 electricity happens during peak, we see by the end of
10 century a 5.7 to 19.8 percent impact on peak, which is a
11 significant increase on peak; 20 percent, I don't need to
12 tell you, is a large number.

13 Greenstone & Deschenes looked at a national
14 exercise where they used State level consumption data,
15 this is annual energy consumption data by end of century,
16 and they correlate this with days counted in different
17 bins of temperature, and they find an impact of 11
18 percent nationally, again, by end of century. For the
19 Pacific region, that impact is 8.9 percent. It mixes, of
20 course, the entire Pacific Census Division into one
21 bucket, which isn't that interesting for California
22 because there's a lot of heterogeneity across states
23 here.

24 In an updated report that fixes some issues with
25 earlier work I did with a graduate student, we now have a

1 new CEC report which I don't know is on the website yet,
2 which looks at residential electricity consumption for
3 California, again, annual consumption, and we find
4 counting in a measure of adaptation that impacts by end
5 of century are somewhere between five and 12 percent.
6 Now, this matches pretty closely what Guido and Alan
7 Sanstad found in their work and I'm going to talk about
8 that paper a little bit more in a minute.

9 What's maybe most exciting here is that the CEC
10 has gone forward and, in their 2011 IEPR Report,
11 incorporate detailed projections of climate change
12 impacts for, from what I can tell, the first time. This
13 is something the EIA is not doing, but the CEC is doing,
14 so let's take a closer look here at what they did. The
15 Scripps Institute provided eight temperature scenarios,
16 which are these climate forecasts for California, the
17 forecasting staff here chose a mid and high temperature
18 increase for the mid and high electricity demand forecast
19 scenarios, to come up with a prediction of what happens
20 to peak demand in the California forecast model here.

21 The low electricity demand forecast scenario did
22 not include any climate change adjustment. So if you
23 look in Appendix A of this report, a lot of the nitty
24 gritty detail is in there, but essentially what they did
25 is they figured out what the peak average temperature was

1 going to be over the forecast horizon here, and predict
2 that increase in peak temperature, and look at what the
3 impact on peak is.

4 Now, here are some small numbers with big
5 effects, all right? If I may point -- I can't walk away
6 from the microphone -- I'm going to point to the bottom
7 right here -- these are pointers, high tech -- so this
8 number right here is 12 pt. font, but what this says is,
9 by 2020, there's a three-quarter gigawatt increase in
10 peak if we take the mid demand scenario; and if we go out
11 to 2022, this is 10 years out, for the high scenario,
12 this is a 1.3 gigawatt peak increase due to climate
13 change, that's a big number. Ten years out is
14 significantly sooner than 90 years out, I don't need to
15 tell you that. So, I again commend the CEC for doing
16 this work because I think it gives us some important
17 estimates of what's going to happen to peak in a model
18 that we understand very well.

19 So I have a few more minutes. A couple of points
20 I'd like to make here, again, here are some bigger
21 numbers. We're talking about impact of climate change
22 and what we've got here are these impacts on residential
23 consumption that I did with a former graduate student
24 here, and what you're talking about, again, are these
25 sort of four to 11.5 percent increases in consumption by

1 end of century. If we compare this to the impact of
2 population growth, the impacts of population growth are
3 clearly bigger than the impacts of climate change, alone.
4 The important thing to remember, however, is that if we
5 look at a lot of the official projections of energy
6 demand here, much of the planning, even at the national
7 level, leaves out this climate change penalty, and this
8 climate change penalty is a big one, and this is
9 consistent across all of these models. So, no matter
10 what scenario you're looking at, there's always this
11 energy climate change penalty on top of that. Because
12 climate change is going to happen in varying degrees
13 here, this baseline going forward over the next 30, 40
14 years, climate change is in the baseline now, it's not
15 something that we can choose to have or not to have, the
16 question is how much of it are we going to have, and how
17 are we going to adapt to it.

18 Talking about adaptation here, the black line
19 here is an estimated relationship between temperature at
20 the bottom, X axis, and at the Y axis here, you have the
21 percent increase in residential household electricity
22 consumption due to having one more day in one of these
23 temperature bins here. The black line is a response
24 without taking into account adaptation; the red line
25 takes into account some adaptation. That means, if all

1 of a sudden the area you live in -- I live in Walnut
2 Creek -- if it gets even warmer there during the summer,
3 I may actually install air-conditioning, or functioning
4 air-conditioning in my house. So, if we just assume that
5 people operate their existing equipment more frequently,
6 we would expect around the black line; if we think that
7 people adapt by installing additional equipment and
8 operating that on top, we're on the red line here. So
9 what we're getting here is, in the data, some evidence
10 that that adaptation, which economists call "extensive
11 margin adaptation," may be significant here.

12 Finally, if we are trying to break this out
13 spatially here, is this extensive margin adaptation a big
14 deal? What you're seeing here is a map of California and
15 a map of California, both of which look red, this one
16 looks a little bit redder, and what we're seeing here is
17 -- unfortunately, this doesn't come out in the Powerpoint
18 as nicely as it should -- but the right map takes into
19 account this notion of people installing more air-
20 conditioners as time goes on, and it shifts the impacts
21 up quite a bit. And what we can do with the data that we
22 have is actually look at the areas that have more of this
23 adaptation, or expect it to have more of this adaptation
24 in areas that have less of it.

25 Now, economists have always been accused of just

1 worrying about efficiency, meaning worrying about the
2 size of the pie, or how much the size of your pie
3 shrinks, but not worrying about equity as much, meaning
4 who gets what share of this pie, or who gets what size of
5 sliced pie right here.

6 So what we did here, and I just want to make
7 clear that these results are not causal by any means, but
8 what we did is we calculated predicted impacts of climate
9 change, taking this adaptation into account, and we
10 correlated it with shares of certain groups across Zip
11 Codes. The reason this may be a significant exercise is
12 that people do not sort randomly across Zip Codes. When
13 you arrive in California, you don't randomly just chose a
14 Zip Code, you sort into a Zip Code according to, you
15 know, many different characteristics. There's a large
16 literature on Public Goods Provision in Economics, for
17 example. So wealthier people tend to live in coastal
18 areas, maybe, as we go to the interior, per capita
19 incomes drop a little bit, and what we do here is just
20 show you some scatter plots between characteristics of
21 the population and climate change impact. So what you
22 have on the Y axis in these next couple of pictures I'm
23 showing you are predicted increases in residential
24 electricity consumption at the Zip Code level, what you
25 have on the X axis is different properties or

1 characteristics of the population at the Zip Code level.
2 So the first picture here is household income vs. percent
3 increase, what you see here is the negative sloped line
4 right here, meaning that wealthier households are
5 expected to see smaller increases in residential
6 electricity consumption. And just again to be clear,
7 this is purely due to location. If people resort in
8 response to climate change, then these pictures are no
9 longer valid. If we have share of Caucasian population
10 against percent increase, again, you see a slightly
11 negative line right here. If we go share African
12 American, that line is slightly negative, but not
13 statistically significant. What you see here is share
14 Latino population, that line is positive and
15 statistically different from zero here, meaning that
16 areas with a large Latino population are areas that are
17 expected to have a bigger increase in residential
18 electricity consumption due to warming.

19 Now, I've probably already gone over because I
20 forgot to set my timer here, but the point I want to send
21 you home with is that I think there's a nice combination
22 of literatures starting to emerge here, combining both
23 sort of short and medium run impacts, this is due to the
24 excellent work done here at the CEC, that shows that --
25 for now just for peak -- even in the short to medium run,

1 we're expecting a big impact. The other work, much of
2 which has been sponsored by the PIER Program, and I want
3 to thank them for doing this over so many years, shows
4 that, in the longer run, this is going to continue both
5 for consumption and peak.

6 One thing we're starting to work on now, which I
7 think is important, that the impacts don't affect
8 everyone equally, but there are different people affected
9 differentially, and trying to at least bound how big that
10 difference is, I think, is an important exercise. Also,
11 I think the point that can't be made often enough here is
12 this energy penalty point, right? As we go forward and
13 plan, this change in energy consumption due to climate
14 change is always on top of these different scenarios. So
15 I'm going to stop right here and wait for questions. If
16 you want to ask me more questions, my email address is at
17 the bottom here. [Applause]

18 COMMISSIONER PETERMAN: Dr. Auffhammer, a few
19 questions. You primarily touched on this, actually, in
20 your latter slides talking about extensive margin, but in
21 the literature you cited and the work you've done, what
22 were your assumptions about the implementation of the
23 Energy Efficiency Standards for the State, the success of
24 current policies, or just the adoption of more energy
25 efficient appliances?

1 DR. AUFFHAMMER: So what we have essentially here
2 in the work I've done, and most of the work I've seen,
3 except for the CEC work, you have a fixed effects design
4 where you control for things that don't vary across time
5 at the household and at the state level, and then
6 everybody has these time fixed effects where you control
7 for things that affect everybody at the same time. So,
8 in some sense what you're doing here is you're really
9 getting at the pure causal effect of temperature on
10 consumption. What you would have to do in order to add
11 things like additional policies on top of that, in that
12 particular design, you would have to worry about what
13 goes on in that trend that is separated out through these
14 time fixed effects. So, again, this is a very important
15 point you're making is what these models do not do, they
16 don't add on top the sort of offsetting effects due to
17 policies, and those should be taken into account, of
18 course. But we're trying to separate out the policy from
19 just the causal effect of temperature.

20 COMMISSIONER PETERMAN: Thank you. That's much
21 appreciated and I think, similarly, the rates are
22 considered as normal, etc., so it just gives us an
23 example of what policy can influence. And I also wanted
24 to note, I appreciate your discussion of the impact of
25 consumption as being heterogeneous and it's something I

1 hope we'll delve into at some of the further panels.

2 CHAIRMAN WEISENMILLER: Yeah. I think the
3 question I wanted to follow-up on is, again, when we do
4 our planning even 10 years out, we look at both an
5 expected case and then a one in 10 case, so it looks like
6 this has done a pretty good job on the expected one, you
7 know, the expected case for peak. But then the other
8 question is starting to think about what could be the
9 peak one in 10 effect, particularly given the greater
10 volatility of climate change?

11 DR. AUFFHAMMER: So I don't want to speak for
12 Chris, I don't know if he wants to come up and speak, but
13 I would say that, as well, I think this is a key
14 important component of planning is worrying not just
15 about what the mean does, but worrying about what the
16 95th percentile and the 99th percentile event is going to
17 see. If we look at the -- I'm a little bit dyslexic when
18 it comes to time -- 2006 heatwave, I think it was, when
19 we look at that, right, that's something that we expect
20 to occur much more frequently, and looking at what the
21 impacts are, if those heatwaves under climate change are
22 maybe more broad geographically. So, taking into account
23 not just what we've experienced so far in terms of
24 heatwaves, but really coming up with some scenarios that
25 look at the 95th or 99th percentile event combined with

1 what's going on in neighboring states that we often buy
2 more resources from during these peak times. I think
3 looking at that in a more detailed fashion is very very
4 important.

5 CHAIRMAN WEISENMILLER: Chris, do you want to
6 comment?

7 DR. KAVALEC: Chris Kavalec, Energy Commission.
8 I just wanted to add that what we've done so far is a
9 relatively simple modeling of peak impacts using a fairly
10 simple econometric model, and what we want to start
11 looking at in the future is more sophisticated peak
12 models that get at the distribution of the peak,
13 including generalized extreme values. And so I just want
14 to say we're thinking about this and we're sort of really
15 at a starting point where we are now.

16 CHAIRMAN WEISENMILLER: Okay, thanks.

17 DR. AUFFHAMMER: But as is always the case with
18 California, they're the first ones, as far as I can tell,
19 from a policy modeling perspective that has issued
20 official forecasts that take this into account. The EIA
21 is not doing that.

22 CHAIRMAN WEISENMILLER: I think the other
23 question, just following up on Commissioner Peterman's
24 question, it seems like as you look at the distribution
25 across their demographics, that if we do some of the

1 policy overlays, unfortunately the lower income is less
2 likely to be in a new housing, or to have the more
3 efficient appliances, so, again, that could show greater
4 impacts among the lower income than the more affluent
5 areas going forward.

6 DR. AUFFHAMMER: I'm going to follow-up Chris'
7 notion here, this is again just a first step. We have to
8 do much more careful thinking about, you know, what's
9 jointly going on here between the areas that are affected
10 here differentially, and what are the properties of these
11 areas? Right now, I'm just rolling everything into these
12 pure correlations, but one should really break this down
13 into several characteristics, conditioning on the other
14 ones at the same time. So, again, this is just a first
15 step here, but I think this equity point of view is an
16 important one to consider because it also allows for us
17 to think more specifically about targeting of these
18 policies to different climate regions, for example.

19 CHAIRMAN WEISENMILLER: Or looking at trying to
20 think very explicitly about developing policies to help
21 mitigate the impacts on a more equitable basis in our
22 society.

23 COMMISSIONER DOUGLAS: I just have a question for
24 clarification. Earlier in the presentation, I think
25 maybe around slide 8, or so, or 7, you were using words

1 "climate change penalty" in the context of talking about
2 population energy growth, and I just didn't -- I could
3 use some explanation of what you meant.

4 DR. AUFFHAMMER: Well, the way -- people use this
5 notion differently, but the way I think about it is, we
6 think about the world going forward in terms of a
7 baseline that often doesn't involve planning for climate
8 change, so when we come up with baseline scenarios of,
9 you know, what's the baseline we have to reduce the
10 emissions from, or calculate impacts relative to, that
11 often leaves out this particular notion. The fact is
12 that the baseline, because of what's going to happen
13 already absent of any addition policies right here, is
14 higher due to this climate change impact, there's this
15 what I call a penalty on top of that, but maybe penalty
16 isn't a good word here. So, thinking about existing
17 climate change that's already in the baseline, I think,
18 is an important component.

19 COMMISSIONER DOUGLAS: Okay, so I guess just
20 because it's Monday, or I'll write it off it's just
21 because it's Monday, but the baseline of what is higher
22 because we're not looking at climate change?

23 DR. AUFFHAMMER: So the baseline, think of energy
24 consumption, think of, you know, any variable --
25 agricultural yields, and so on -- so if we ignore the

1 fact that there is already existing stock of CO₂ emissions
2 and durable capital in place that will continue producing
3 these emissions no matter what we do for the next 10 to
4 15 years, there's already this climate change that's
5 built into the baseline that many projections of
6 baselines do not take into account.

7 COMMISSIONER DOUGLAS: And the relation to the
8 impacts of projected population growth --

9 DR. AUFFHAMMER: So the point I was trying to
10 make there is, if we keep population constant and we just
11 roll out additional climate change, the impacts are five
12 to 15 percent, or something like that, if we take the
13 median projections that PPIC has issued, that we've
14 worked with, and we roll those projections into
15 projections of electricity consumption, the median
16 projections of population growth will have a much larger
17 impact on overall electricity consumption than will
18 climate change. So if you ask, you know, what's the
19 bigger impact here? Climate change or population? It's
20 population because each additional person consumes a
21 certain fraction of what existing people do.

22 COMMISSIONER DOUGLAS: Okay, now I'm completely
23 clear. Thank you for that.

24 COMMISSIONER PETERMAN: And I was just really
25 kind of following up on that, it was nice to see the

1 scale with population and climate change, is there
2 something else, though, that people are talking about as
3 a significant driver, which actually for the consumption
4 was just less than this climate change impact? You know,
5 are we over-emphasizing something else?

6 DR. AUFFHAMMER: So I always look, you know, we
7 look in the traditional breakdown -- incomes, population,
8 technology, and now it is temperature is the missing one
9 here. It's very hard to empirically quantify the impacts
10 of technology, so I think one thing that has received a
11 lot of attention lately is policy-induced technology
12 changes, and I have some other work that was sponsored by
13 PIER that looked at the impact of Building Codes at the
14 national level, and looking at it for states that are
15 more serious about it, like California, rather than other
16 states that will remain unnamed here. And there is a
17 significant offset in energy consumption due to these
18 existing policies that in many cases are well enforced
19 here in looking at, you know, the importance of
20 enforcement vs. just standards here. So if you have good
21 enforcement and good standards, you can get in some cases
22 pretty close in some of these sectors, over longer
23 periods of time here, to what climate change would do
24 here. So, really thinking about what the order of
25 magnitude of these impacts is in the existing data, I

1 think, is an important thing to do, but it's also a very
2 tricky thing to do because the data, as we all know, are
3 scarce and often not as clean as we wish they were.

4 COMMISSIONER PETERMAN: Thank you very much.

5 DR. AUFFHAMMER: Thank you.

6 MS. KOROSSEC: All right. Our next speaker is
7 Joshua Viers from U.C. Davis, talking about Climate
8 Change Impacts on Hydropower Generation.

9 DR. VIERS: Good morning. My name is Joshua
10 Viers, Associate Director of the Center for Watershed
11 Sciences at U.C. Davis. Thank you for having me to share
12 some of our own research and review some of the research
13 of others. And I'll go over that fairly quickly and
14 reserve some time at the end to talk about some of the
15 policy implications as it relates to the impact of
16 Climate Change on Hydropower Generation and with a policy
17 focus on relicensing of hydropower units in the State of
18 California.

19 As most of us --

20 COMMISSIONER PETERMAN: Doctor Viers, would you
21 mind putting your mic up just a little bit?

22 DR. VIERS: Is that better?

23 COMMISSIONER PETERMAN: For me it is, yes,
24 thanks. Everyone else? How are we doing? Okay, yeah,
25 we're good.

1 DR. VIERS: As most of us are aware, California
2 is blessed with both the topography and the climate to
3 create what's known as potential energy so that stores of
4 water, most typically it's snowpack at high elevation,
5 that can be transformed into kinetic energy, which is the
6 basis for hydropower generation. However, there are a
7 number of contingencies in the use of that potential
8 energy as that water courses through the mountains and
9 through penstocks, generating electricity, and it's also
10 stored for water supply, and it's also held back in times
11 of flood, and it's used for other environmental purposes.
12 So there are a number of contingencies with respect to
13 infrastructure and also policies with the use of that
14 water that constrain much of what we can think about with
15 respect to climate adaptation.

16 So as we go forward and thinking about the 15
17 percent of the energy supply that's potentially at risk,
18 it's important to put it in that context. The geographic
19 context of this resource is that about two-thirds of all
20 the runoff in the State of California occurs on only 20
21 percent of the land surface. In fact, if we were to look
22 at the entire site of runoff, 90 percent of it occurs on
23 only 40 percent of the land surface, half of that is in
24 the Sierra Nevada and, as most of you are aware, we
25 capture, store, and reroute most of the water that falls

1 in the Sierra Nevada and use it for a number of purposes,
2 including hydroelectricity generation, which is shown in
3 the blue dots on the map to the right.

4 Change is taking place presently and is expected
5 to change even more in the future, and we heard from a
6 number of speakers already about the extent of future
7 change. But I think it's important to consider some of
8 the things that are ongoing. In addition to regional
9 increase in annual air temperature that is mediated in
10 part by proximity to the coastal areas and by elevation,
11 perhaps with some seasonal change, is that our climate is
12 dominated by intra and inter annual variability in
13 precipitation, and that is the Mediterranean climate. In
14 effect, every summer we go through a drought that happens
15 to be remediated during the winter when precipitation
16 falls. So there's quite a bit of variability already,
17 that variability might be increasing.

18 Two of the things that have been documented as
19 happening in the near past that do have an effect on
20 hydropower generation, is a progressive negative shift in
21 the onset of the spring snowmelt pulse, which means that
22 that snowpack that we've been relying on as potential
23 energy is changing in its timing. Similarly, the total
24 amount of water passing through the system, one-half of
25 that is the center of mass, and that's happening much

1 sooner, which means that our operations have to respond
2 accordingly. So this idea that our water management is
3 based on climate stationarity, or the idea that the
4 future will likely look like the past, is now under
5 constraint, and we're having to rethink many of our
6 previous assumptions.

7 One of those assumptions is what we call the
8 "Water Year Type," and so many of you have heard "this
9 year is going to be a dry year" or "this year is above
10 normal," it's a wet year. It led me to ask the question,
11 well, in California, when is it ever really normal, as we
12 know that it's often wet or dry. And as it turns out,
13 there is no actual normal year. The Department of Water
14 Resources has five different water year types that they
15 use and a couple of different indices, and one of those
16 is the San Joaquin Valley Index, which takes four rivers
17 from the San Joaquin Valley, and composites them with the
18 amount of runoff. And they distribute those over five
19 different water year types -- wet, above normal, below
20 normal, dry, and critically dry. And typically there was
21 what is known as a uniform distribution, or about a one
22 in five chance of being any one of those years. So we
23 took six different TCM models with two different emission
24 scenarios, run through the variable infiltration capacity
25 hydrologic models, or rainfall runoff model, and looked

1 at how the change in distribution of years would look in
2 the near term from 2000 to 2050, and then the later term.
3 And as you can see, in the near term we actually get a
4 bimodal distribution, which is either wet, as you can see
5 here, and this is a model consensus, or critically dry
6 increasing quite a bit, as you can see there, and then by
7 the end of the century, of course, the critically dry
8 years are very pronounced. I would also say that the
9 Sacramento Valley Index shows a similar response, though
10 not nearly as pronounced.

11 So water year typing is one of the fundamental
12 ways in which we distribute water and it has a lot of
13 important contingencies for downstream, particularly for
14 senior water rights holders and other beneficial users.

15 In order to better understand the impact of hydro
16 climatic alteration on hydropower resources, a number of
17 different studies have been conducted and most, if not
18 all of those, focusing on the Sierra Nevada. And these
19 have been conducted over a variety of scales, some of
20 those are what we might consider a macro in scale, this
21 is looking at all the facilities across the Sierra Nevada
22 using fairly coarse assumptions about operations, and
23 summarizing those to the annual time step. Other studies
24 have been quite narrowly focused, maybe looking at a
25 single facility, but with very fine-tuned operations and

1 looking at either hourly or daily fluctuations, or even
2 seasonal changes with climate warming.

3 Most recent work, including some of the results
4 that I'll show next, are what we might consider the
5 intermediate scale, and so these are a number of
6 facilities that are modeled in conjunction with each
7 other in part because we know that water released from
8 one facility is often captured and reused by another.
9 These are using fairly refined operation models, though
10 with some assumptions and looking at seasonal changes.

11 There are three primary findings from the body of
12 this work, and I'm going to articulate those now. One is
13 that total energy produced is mostly linear in response
14 to total resource availability, in other words, this
15 means that with less water, there's less energy. And
16 that might sound simplistic in summary, but it's
17 important to consider in part because a linear response
18 means that it can be modeled much more simply. And these
19 are fairly complex systems, anyway, and so we if want to
20 be able to incorporate climate change, we can make some
21 simplifying assumptions and do fairly well.

22 The timing is perhaps most critical, though
23 obviously the amount of the resource is also critical,
24 for considering changes in operations and how
25 infrastructure may be able to capture and reuse the

1 energy store. And then, lastly, most of these studies
2 have concluded that adaptation is possible, particularly
3 with how we operate our dams and reservoirs, but it's
4 incredibly important to think about the downstream
5 contingencies associated with that, in part, either the
6 physical constraints with infrastructure and/or the
7 policy constraints with how that water is used, who
8 benefits from that, and when.

9 One example of a statewide analysis was just
10 using the total amount of hydropower generated for the 15
11 major basins on the west slope of the Sierra Nevada,
12 which have these codes here, such as the Kings, KNG, or
13 the Feather River in FEA. And those are plotted in terms
14 of their total hydropower capacity, and then a shift in
15 the number of weeks, and so, as we move to the right,
16 that's actually sooner in the year when one-half of all
17 the water is passed through the system. These black
18 lines indicate the median, so half of all the basins are
19 above this line, and then the median for the amount of
20 change, half of all the basins are to the right of this
21 line. So if you're in this quadrant here, you both have
22 a lot of capacity and a lot of change. And this is with
23 uniform increases to air temperature of 2, 4 and 6
24 degrees Celsius, which is equivalent to near, mid and
25 long term planning scenarios. And as you can see,

1 there's a non-uniform response in terms of how these
2 basins respond, whereas you have the Kings and the
3 Feather being fairly close, under 2 degrees warming by 4
4 and 6 degrees warming, and you can see that there's quite
5 a bit there. And I apologize for the black outline there
6 because it was blue in my presentation and highlighted,
7 so I'll have to fill in some of the blanks in the coming
8 slides. One of those blanks is looking at statewide
9 generation for over 100 different facilities, but looking
10 at each facility independently under a base case
11 scenario, and three different climate change scenarios.
12 Madonnie & Long (indiscernible) would be able to show
13 that, under the wet scenario, it actually generated more
14 power, and I believe that number was about two percent --
15 let me give you the actual number -- that was actually a
16 six percent increase -- or four percent increase under
17 the wet, but under the dry scenario, here, that was a 20
18 percent decrease in power generation.

19 Looking at the American River and the Big Creek
20 complex in the Kings River system, in the San Joaquin
21 System, is that Sebastian Vicuna by mid-Century noted
22 about an eight percent decrease in both of those systems
23 and, again, this was modeling fewer facilities, but in
24 conjunction with one another.

25 The most recent work that's been conducted and

1 funded by PIER was to look at a number of different
2 facilities modeled together, and so this is 15 different
3 basins, again, from the Feather down to the Kern, with
4 415 co-managed entities within that model, so 56
5 different reservoirs and over 100 different hydropower
6 plants. We did not include the Rim Dams in this study,
7 so the large facilities such as Folsom, or New Melones,
8 Don Pedro, etc., are not included in this analysis in
9 part because they're often used for multi-year water
10 resource needs and flood control, and they're a little
11 bit more difficult to model within this context. We did
12 this over a 20-year horizon using historical
13 precipitation from 1981 to 2000, that includes the
14 wettest year record in 1983, the flood year record in
15 1997, and the five-year drought. So it does show some
16 variability. And then we increased the air temperatures
17 by 2, 4, and 6 degrees, again, to look at the sensitivity
18 of the system and how it may respond to warming.

19 In this graph here, we show the total energy
20 produced under the yellow being the zero degree base case
21 scenario, and then warming of 2, 4, and 6 degrees Celsius
22 and, again, that's near, mid and long term supply, and
23 then we have the absolute change in gigawatt hours, and
24 then the percent change. And I'll just focus on the
25 percent change because I think it's most telling. And

1 you can see that, under the six degree warming scenario,
2 there's actually an increase in generation, but that
3 happens to take place over the winter and spring months,
4 and that there's a concomitant decrease in generation
5 during the summer months because of the resource
6 availability. So one of the big questions, then, is do
7 those two things balance each other out?

8 These bar graphs show the same energy, total
9 energy, change in energy, and percent change in energy,
10 but this is across seasons, so October, November,
11 December on the left, and July, August, September on the
12 right, and then annual summaries. And, again, you can
13 see that the total net change annually across the west
14 slope of the Sierra Nevada is a negative. And in terms
15 of percent down here in the lower right-hand corner,
16 that's a nine percent change overall, again, using these
17 assumptions. And it's important to point out that this
18 study and the other ones that I mentioned often do not
19 include changing resource demand in terms of consumer
20 demand, nor changing price conditions, and those are both
21 important factors that will need to be considered in
22 future research.

23 So the policy implication of this is that, from a
24 planning standpoint, the one instrument that is most
25 often used is the Federal Energy Regulatory Commission's

1 Relicensing of Hydropower facilities. These are non-
2 Federal facilities that often get a 30 to 50-year
3 license, that spell out the operating rules for power
4 generation and how different aspects, whether those are
5 threatening endangered species, or even visual effects,
6 and how those will be managed going forward. Nearly two-
7 thirds of those licenses remain up for renewal within the
8 next 40 years, and so it's an opportunity, then, to look
9 at how relicensing goes forward and if, in fact, climate
10 change can be incorporated into that planning process.
11 As it turns out, however, a group of stakeholders in the
12 Yuba-Bear Drum-Spaulding area, which is not far from
13 Sacramento, petitioned the Federal Energy Regulatory
14 Commission to actually include climate change as a study
15 plan for this re-licensing, that request was rejected on
16 the basis that, even though FERC concluded that there was
17 consensus that climate change was occurring, they're not
18 aware of any climate change models that are known to have
19 the accuracy that would be needed to predict the degree
20 of specific resource impacts and serve as the basis for
21 informing license conditions. That being said, I think
22 we can all take a moment to think that, going forward,
23 we're probably at the point now, based on some of the
24 research that you've seen, and the work of others, that
25 we can begin to incorporate climate change scenarios as

1 part of this planning process. One such way of doing
2 this is to provide what's known as climate change
3 alternative, if you will, under the National
4 Environmental Policy Act, or NEPA, which considers a
5 number of alternatives for planning purposes. We're now
6 focusing on the greater Yuba Watershed in part because it
7 has a number of facilities up for relicensing and it is
8 perhaps the most complex of all the waterworks we have in
9 the Sierra Nevada, so we take water out of the Middle
10 Fork Yuba, move it over to Canyon Creek and Bowman Lake,
11 and then from there over to Lake Spaulding on the South
12 Fork Yuba, some of that water ends up in the South Fork
13 Yuba, but a lot of it actually goes into the Bear River,
14 generates hydropower going downstream. So it's a highly
15 complex system with a number of licenses that are now up
16 for renewal, and could benefit from thinking about
17 climate change going forward.

18 I would note the one area that few people have
19 looked at that would be important is the fact that, as
20 air temperatures rise, as do stream temperatures, and if
21 stream temperatures as inflows and reservoirs are much
22 warmer, it could be considered that the actual lake or
23 reservoir itself will fail to stratify thermally, which
24 means that the cold water pool at the bottom of these
25 reservoirs may be much warmer and so their ability to

1 meet downstream targets for water temperature that are
2 very important for native fishes such as Salmon, may be
3 compromised. And so that's an area of work that we're
4 presently engaging in.

5 So, to think about FERC remedies, it isn't just
6 incorporating climate change as part of a modeling
7 perspective, but climate adaptation requires that we
8 embrace uncertainty, that we enable flexibility, and we
9 employ policy feedbacks. In order to do that, I've
10 highlighted three areas that I feel would be of some
11 utility: the Aggregation of Licenses, Escrow Accounts,
12 and Regionalization. The Aggregation of Licenses is that
13 we go about this in a very piecemeal fashion; each
14 project is licensed independent of all the others, very
15 rarely are they licensed together. Presently, we do not
16 include Federal dams in any of this, and so they're
17 modeled and operated in isolation of others, and as we
18 can imagine this idea of the watershed context is that,
19 in order to be proactive in managing our resources, we
20 need to do that cumulatively. This would also have the
21 benefit of minimizing direct liability for any one
22 Licensee. Presently, a lot of the relicensing studies
23 that are done are conducted by consultants, paid for by
24 the Licensees, as it's very expensive, and a lot of the
25 stakeholders actually question the partiality of those

1 consultants. And so the studies themselves perhaps get
2 contested and that draws out the amount of time that we
3 have to be proactive and coming up with solutions. This
4 would also improve the standardization of study plans
5 going forward so that we're all using the same models and
6 same assumptions and we have some basis for
7 comparability.

8 The last point is Regionalization. And that is
9 that our working rivers are asked to do a lot of things,
10 some of them produce hydropower, some of them store
11 water, some of them do flood control, and some of them
12 support Salmon, and often we ask them to do all of those
13 things simultaneously. In an era of climate change, it
14 may become untenable to ask our rivers to do all of those
15 things, and so we need to start thinking about what we
16 call Regionalization, or Specialization, is that we're
17 asking specific basins to do specific things. And I
18 recognize all of the problems associated with that.

19 So lastly, we will adapt, you can imagine that
20 the power generation -- that they want to maintain
21 generation, they want to maintain revenues, and that
22 there will be some change in operational behavior. What
23 was highlighted under here is will they adapt with
24 difficulty or with ease, and because, at least with
25 humans, the future is likely to look like the past, what

1 I would say is what is likely is a reactive adaptation
2 with local single actor solutions, that are made on short
3 run decisions, and that those solutions are held in a
4 private domain. What I would contend, however, is that
5 what is needed is anticipatory adaptation with regional
6 and multiple actors, with middle to long run decisions,
7 and those solutions that is held in the public domain.
8 And the reason is that there are really only two remedies
9 presently for looking at FERC relicensing within the
10 existing framework, one is the idea of a reopener, which
11 is that, once the license conditions are set, you could
12 actually go back and renegotiate those, those are
13 incredibly rare, if ever enacted; and then, secondly,
14 this idea that we can do adaptive management. Well, as
15 it turns out, no one really knows what that means, and so
16 it's the lack of surety in incorporating adaptive
17 management as a formal term in these licenses that
18 prevents a lot of stakeholders from engaging in that.
19 And so, with that, I'd like to say thank you to you for
20 having me and presenting this, and also to my colleagues
21 that helped produce a lot of this work. Thank you.

22 [Applause]

23 COMMISSIONER PETERMAN: Thank you much. Thank
24 you very much. I found it very interesting. I just
25 wanted to clarify -- I was a little bit confused by the

1 slide -- does FERC consider climate change in its
2 hydropower relicensing?

3 DR. VIERS: Not as a formal component.

4 COMMISSIONER PETERMAN: Okay.

5 DR. VIERS: With the idea being, is that if
6 something -- if the hydrologic regime were to change,
7 it's contingent upon the Licensee to actually still meet
8 the terms of the license condition, and so if they're
9 unable to meet that, then they would have to go through a
10 formal process of compensating for it -- either changing
11 the operations and getting a change in the license,
12 itself.

13 COMMISSIONER PETERMAN: Thank you. And I think
14 you've highlighted a couple opportunities we have in the
15 relicensing forums to come up, which I appreciate, and
16 the most recent California RPS legislation allows more
17 opportunity for hydropower in different forums, as well,
18 and so this is an area that is current and live and we're
19 looking at new projects, and so I appreciate your
20 feedback.

21 CHAIRMAN WEISENMILLER: I guess, obviously, we
22 look a lot at the hydro system in California, we also
23 integrate it with hydro systems in the Northwest, so I
24 was trying to get a sense of how similar or different the
25 impacts will be in the Pacific Northwest compared to

1 California.

2 DR. VIERS: That's a very good question and I may
3 not be able to answer that in a thoughtful way in the
4 sense that our studies have focused almost entirely on
5 the Sierra Nevada. That being said, a lot of the climate
6 change work has focused on the Pacific Northwest, and
7 certainly they've been able to anticipate the hydrologic
8 change there. Currently, there are a number of
9 facilities in the Pacific Northwest that do undergo FERC
10 relicensing, and our research has been the basis for some
11 changes in how they do relicensing, but it's also
12 important to point out that quite a bit of that energy
13 that's produced by hydro power through the Bonneville
14 Power Administration and the Columbia River, and that
15 would not be part of the FERC process.

16 MS. KERSTEN: One more time. You mentioned
17 there's no normal year and that we don't look at history
18 to describe the future, there's need for more refined
19 operations models, we need to look at flexibility,
20 uncertainty, feedback flows for policy, do we have the
21 computing power, you know, to deal with these changing
22 scenarios? Do you have any comments about the
23 limitations of hardware/software in order to do this? I
24 mean, all of these ideas are great, we look at all these
25 potential impacts, but what are your personal thoughts

1 about the ability to actually project based on the tool,
2 itself, and its impact on influencing what you come up
3 with?

4 DR. VIERS: I think that's an excellent question.
5 Thank you for asking it. As Professor Jay Lund likes to
6 say, and I'm sure others have said this, too, is that all
7 models are wrong, some are useful. And I think we've
8 been able to show that there's some utility in what we've
9 done, not that it can't be improved. I would say that
10 the limitation isn't in the hardware itself, I mean, the
11 actual computations that are being done compared to some
12 other forms of computing don't strain systems. The real
13 limitations are lack of information. Oftentimes, these
14 models do what we might -- we've kind of -- we back into
15 them, we don't actually have the specific operation
16 decisions, but we know how the system behaves based on
17 the flows that come out of them, and so that we can
18 reverse engineer what's going on. But these are
19 definitely coarse approximations and, to the extent
20 possible, we use hard written-in legal instruments, say,
21 an environmental flow requirement can never -- you know,
22 flows can never drop below this level, and so we can
23 build that into a model, but if it's a warm day, or we
24 get a pineapple express and they end up dumping half
25 their water in anticipation of the shock to the system,

1 that's a very difficult thing to model. And so going
2 forward, there's always going to be approximations, and
3 we use the ensembles of GCMs to kind of help guide this
4 and we can put bounds on that. So I think it's more of
5 this consensus modeling, is that if we have a bunch of
6 different researchers that use a bunch of different
7 methods, and a bunch of different assumptions, and
8 they're all kind of coming to the same general
9 conclusion, then that gives us a little bit more
10 confidence going forward. But I would say having data
11 that were available to the research community about
12 actual operations would be very helpful.

13 MS. KOROSEC: All right. We're scheduled to take
14 a break now. We're running a few minutes behind, so I'll
15 ask if people can be really good about being back at
16 11:30, and we'll reconvene then. Thank you.

17 (Break at 11:18 a.m.)

18 (Reconvene at 11:33 a.m.)

19 MS. KOROSEC: All right. Welcome back, everyone.
20 Thank you. Next we'll be hearing from Larry Dale from
21 Lawrence Berkeley National Lab on Potential Impacts of
22 Wildfire, High Temperatures, and Sea Level Rise to
23 Transmission Lines, Performance of Thermal Plants, and
24 Electricity Reliability. Larry.

25 COMMISSIONER PETERMAN: And before we get started

1 with the next speaker, I'm just going to take a second to
2 introduce Commissioner Cathy Sandoval with the California
3 Public Utilities Commission, who has joined us. Thank
4 you very much for taking time out of your busy schedule
5 to join us for this workshop.

6 COMMISSIONER SANDOVAL: Well, thank you for the
7 opportunity, so very excited to hear about this very
8 important issue.

9 COMMISSIONER PETERMAN: Thank you.

10 DR. DALE: Okay. I'm Larry Dale. I work at
11 Lawrence Berkeley Lab and I'm happy to be here to tell
12 you about what one of the earlier speakers said would be
13 a thrilling description of impacts to the energy
14 infrastructure of California. But before I get to the
15 thrilling impacts, let me first mention that the work
16 that I'm talking about is building on the works, the work
17 of many people who are in the audience, as well as many
18 people who worked on this project. You can see several
19 names there, many of us at Lawrence Berkeley Lab, some
20 people at U.C. Berkeley, one person in Brazil, and I
21 should also mention several other people on campus at
22 U.C. Berkeley have contributed to some of the findings of
23 this study.

24 The idea is to estimate the impacts of climate
25 change to the energy infrastructure, in general, but with

1 some focus on power plants and transmission lines to
2 warming temperatures, wildfires, and sea level rise. And
3 I think, you know, the idea behind this notion of a
4 thrilling talk is that -- is the idea that these things
5 could happen in conjunction, that you could get a
6 wildfire at the same time, in the same year, following
7 massive floods along the coast, and when energy demands
8 are peaking and the system -- it is the idea that this
9 could crash. So I will confess that those of us working
10 on this kind of had a double mandate, one was to be very
11 careful with our analysis, stick to the facts, we worked
12 with a group of people from electricity utilities who
13 were very careful to have us stick to the facts, and the
14 facts are limited, particularly if you're talking about
15 data.

16 But at the same time, we did want to get at this
17 notion of how the combined impacts could be much worse
18 than the separate sum of the impacts. And so we made a
19 few small steps in that direction.

20 This slide gives you a sense of how we approached
21 the problem. On the lower left-hand corner, you can see
22 a chart showing GIS data for changes in temperature for
23 different parts of California, and in the upper right-
24 hand corner, you can see the electricity infrastructure
25 of California laid out in a sort of simplistic fashion.

1 Some of the dots are power plants, and the lines are
2 transmission lines, and that's the system that we were
3 largely focused on in this study. So, in the first part
4 of the study, we wanted to look at how are these rising
5 temperatures and, in addition, rising sea level, going to
6 affect that infrastructure? So the method that we used
7 was actually pretty dead simple, we downscaled all of the
8 temperature data that we could get, particularly
9 temperature data focused on those peak periods when the
10 infrastructure is at its most vulnerable, to different
11 parts of the state. And that map at the bottom shows you
12 both current -- 1999 -- temperature, the 2050
13 temperatures, and the change between 1999 and 2050 and
14 2099.

15 So the procedure was, using GIS, we would look at
16 the energy infrastructure, there was a lot of data
17 provided to us by the Energy Commission, overlaid the
18 temperatures on that infrastructure, and then looked at
19 the impacts. Now, here are the same GIS maps, but this
20 is showing changes in impacts to the generation capacity
21 of the natural gas plants of California at peak
22 temperature periods during August, looking ahead between
23 a current period, and the end of the Century period, and
24 then the change.

25 The reason we did this is that it turns out that

1 natural gas and most thermal generating plants lose
2 efficiency. It seems like a small thing, but the changes
3 in temperatures between now and the end of Century could
4 cause something like a six percent drop in the efficiency
5 of thermal power plants. It's important to note, power
6 plants at the end of the Century are going to be
7 operating at about 75 percent of nameplate capacity,
8 whereas now they're more like 81 percent on average
9 during a hot August day.

10 So what this means is that any changes to the
11 electricity system in that period, this penalty that Max
12 talked about earlier, this climate penalty on the energy
13 infrastructure, is going to have a redoubled effect. You
14 can't just replace -- if we have an increase in demand,
15 which we will have, you don't just meet it with one more
16 power plant, you have to meet it with a power plant
17 that's a little bit less efficient so that the penalties
18 interact. You have an increase in demand, you have to
19 increase the power plants to meet that demand by about
20 1.3 times the number you would today.

21 And here is a slide that is, as everybody tells
22 me, far too busy, but I have limited time. Here, I'm
23 showing you again a map on the right side showing you the
24 energy infrastructure, but I'm summarizing impacts to
25 that infrastructure in terms of decreased generation

1 efficiency, transmission capacity, and then a summary of
2 end of Century, mid-Century impacts. Currently, we have
3 about 44.1 gigawatts of natural gas capacity. Because
4 each of those plants is less efficient, this is going to
5 mean we need about eight percent more capacity just to
6 hold per capita demand the same by the end of the
7 Century. Peak period demands, we did our own study of
8 peak period demands and how they will change with peak
9 period temperatures, trying to look at the one in 10
10 impacts, or trying to look at the particularly hot August
11 days at the end of the Century, and we found about a 21
12 percent increase in peak period demands end of Century.
13 For that, we would need another 12.1 gigawatts of natural
14 gas capacity. At the same time, the system, the
15 substations are working less efficiently, the
16 transmission lines also very slightly less efficiently.
17 That has another need for about 1.6 gigawatts. You sum
18 all those thing up and you need about 40 percent more
19 generation capacity just to satisfy the demands we would
20 expect if we had today's system.

21 Transmission is also slightly less efficient.
22 You're going to have some extra energy losses, but
23 they're very slight, surprisingly small. But the
24 capacity of the transmission lines may be a constraining
25 factor. Transmission line capacity drops about seven

1 percent by end of the century. Coupled with the higher
2 peak loads that we're expecting, this would mean about a
3 31 percent additional transmission capacity need for the
4 end of the century. So this gives you a sense of how you
5 start combining the penalties of climate change, how you
6 can get a fairly large impact.

7 I should say I've been working now for -- since
8 before my hair went gray -- on climate change impacts and
9 this may seem fairly small, but it's the largest economic
10 impact I've seen of any study for California, by a large
11 degree, in fact. There's many billions of dollars of
12 cost involved in that. So then you might ask, well,
13 what's going to happen from some of these other impacts?
14 Well, one of them, one of the dramatic ones, would be
15 wildfires. Here, we're building on the work of Tony
16 Westerling who put together the most widely used fire
17 model for the state, and he finds, as you would expect,
18 as things get hotter, the mountains are going to be
19 drier, vegetation will be drier, and coupled with dry
20 years, which may happen with some more frequency in parts
21 of the state, you're going to have a much higher fire
22 risk. The fire risk using that model can be downscaled
23 to each separate pixel of the state, about a 4 kilometer
24 pixel. We did that for the state, we overlaid it with
25 transmission data from the Energy Commission, and the

1 result are these maps that you're seeing here for each of
2 the climate scenarios and emission scenarios that we
3 looked at. And then one more step was we then summed the
4 changes and probability of a fire along the entire length
5 of the transmission lines that we were concerned about.
6 And here you see a chart showing the changes in fire risk
7 caused by climate change, end of Century, to the
8 transmission system. And the red is a much higher fire
9 risk, that's about a 35-45 percent higher risk. The
10 green is a smaller risk, between zero and 15 percent.
11 And the blue is actually showing you lower fire risk.
12 The reason you can get lower fire risk is that, in the
13 model, once you have a fire, the vegetation is gone and
14 your fire risk disappears. So, by end of Century, you've
15 got a lot of areas where they've had enough fires so you
16 don't have to worry about them, about the fire risk
17 anymore.

18 But some things do stand out, in particular I'll
19 focus your attention on the red transmission line up here
20 at the top, which I think is called Path 66, which is
21 California's major transmission corridor going north to
22 all the hydropower that we now get from the Columbia
23 River. There's also a lot of higher fire risk around Los
24 Angeles, at least for some of these A2 scenarios. And
25 those are you can think of the Santana wind fires that we

1 often get down there that's representing that increased
2 risk. So think of about a 40 percent higher risk of
3 wildfires.

4 And then finally, here is the sea level rise
5 problem that we dealt with. This was again a very simple
6 analysis in which we overlay a 1.4 meter increase in the
7 sea level rise end of Century, coupled with a storm
8 surge, onto a map of California that includes the
9 locations of all the power plants and the elevations of
10 all those power plants. And wherever there was an
11 encroachment of the higher sea level plus storm surge
12 upon the power plants, or also we were looking at
13 substations, we considered there to be a plant at risk.
14 And based upon that analysis, we found 25 power plants
15 and about 90 substations that are vulnerable to this kind
16 of risk.

17 The map shows you both the number -- it gives you
18 a sense of the numbers of the power plants and plus it
19 does clue you into the fact that a lot of the power
20 plants we do have, particularly natural gas plants, are
21 along the coast where water supplies are plentiful and
22 it's easy to build these plants, or easier to build these
23 plants. But I should say, and it's a kind of common
24 theme in this study, the data is not very good, it's
25 surprisingly poor. We went out and visited a couple of

1 these plants, maybe about five of the plants, and we
2 found two things. The elevation maps we're using are
3 astonishingly poor, you can't tell within a few feet what
4 the elevation is off and along any stretch of California.
5 You would think in the days of satellites, this would be
6 not a problem, but it is still a problem. And also, even
7 thought the Energy Commission has the best available data
8 for the location of plants, the best available public
9 data that we could use for this, the location of power
10 plants is itself not very accurately portrayed. So, when
11 we visit the plants, we'd find they not only had the
12 wrong elevation, but they also had the wrong location.

13 Offsetting this, I should say there's -- it's
14 quite easy to adapt to changes in sea level rise by
15 building dikes, and many of the plants actually have
16 dikes that aren't portrayed in the data.

17 So those are the results of the study, but I
18 guess I want to mention something that I was thinking
19 about as I drove down here today. A lot of people in the
20 Bay Area probably still have in the back of their minds
21 this sailing disaster that took place a couple weeks ago,
22 in which five people were killed in a race going around
23 the Farallon Islands. I sail some and have raced a
24 little bit and have gone around those islands. And one
25 of the people that died was actually in the building

1 where I work, so this was quite fresh. What happened was
2 a number of very experienced sailors on a not
3 particularly rough day, not particularly competitive
4 because they were far behind everybody else, they didn't
5 really think they'd win, they did three things that
6 caused a disaster -- they took an inside tack close to
7 the islands, they met with a wave that was unbelievably
8 large for that day, and some of them were not tethered,
9 which is very common, I must say, for sailors. And those
10 three things led to a disaster. Now, here I'm looking at
11 three things, I'm looking at infrastructure, power
12 plants, sea level rise, fires, but we don't have close to
13 enough data to talk about what the odds of all those
14 things happening at once are. And those are -- I guess
15 what I would say is I don't foresee a time when we're
16 going to have the data to do that kind of analysis, it
17 will come, but it's going to take time. So my sort of
18 final words about this subject would be, you're going to
19 have to keep your own sense of judgment about what these
20 impacts are, what the risks of these kinds of impacts are
21 to the energy infrastructure, or to any other part of the
22 economy of California. The impacts we estimate are
23 fairly modest, actually, these are of course billions of
24 dollars, but everything could be managed by electric
25 utilities. They can build extra supply, they've dealt

1 with changes in demand that are much larger than those
2 I'm projecting. So there need not be a disaster just
3 within the terms of this study. But if you start linking
4 risks across possible categories, it gets to be very hard
5 to know what's going to happen.

6 So I'll just leave it at that and take any
7 questions that people have.

8 COMMISSIONER PETERMAN: Thank you. A couple
9 questions, most are centering or pertaining to slide 5
10 where you did the results summary. So just remind me
11 again, is this a snapshot of 2100, is this current based
12 on projected temperatures?

13 DR. DALE: Yeah, thank you. This is the current
14 infrastructure, the current population, focused in the
15 end of the Century climate impacts.

16 COMMISSIONER PETERMAN: Okay.

17 DR. DALE: If you want to think about mid-
18 Century, there may be 40 percent of these impacts if you
19 look at temperature data.

20 COMMISSIONER PETERMAN: And I find this slide
21 valuable both to think about what we could be doing
22 policy-wise to change this, and also some other things
23 that are coming on the horizon, and one thing with --
24 this identifies an increase in transmission capacity
25 needed. I think that's one of the reasons why the

1 Administration is focused on a goal for distributed
2 generation, to think about how we can reduce our
3 transmission needs, and so one would expect that, if we
4 do see the increase in DG as is being planned for, then
5 there will be less need for increased transmission
6 capacity, but acknowledging that, just with our
7 transmission lines, alone, we would see significant
8 impact from fires.

9 DR. DALE: Yes, that's right.

10 COMMISSIONER PETERMAN: We had a workshop, I
11 mentioned, on net benefits of renewables and we had
12 significant participation by CalFire and the U.S.
13 Forestry Service, and they're looking at opportunities
14 for clearing biomass for fuel in order to reduce fire
15 risk. I think the challenge, though, you've pointed out
16 some of the most sensitive transmission lines are not
17 located in the areas where we're able to do some of that
18 forest clearing, particularly in the southern part of the
19 state, so there's a bit of misalignment there. There is
20 a question, though, here it is -- obviously, the state is
21 relying on, or expecting to rely on, natural gas plants
22 as a resource to both help firm and shape renewables in
23 addition to Demand Response and storage, and you've
24 highlighted a couple of impacts to natural gas plants in
25 your study. I was wondering if you're aware of any other

1 impacts the increase in temperature might have on support
2 for natural gas plants, like particularly the pipelines
3 and the ability of the pipelines to deliver the gas, as
4 well as the ability to ramp or anything like that, are
5 there other operating characteristics that might be
6 affected?

7 DR. DALE: We did look at where flooding could
8 affect some pipelines, mostly in the Delta. But we
9 didn't look at the natural gas pipelines going in and out
10 of the state, we didn't cover that part of it in this
11 study.

12 COMMISSIONER PETERMAN: Okay. You've also
13 identified a number of plants on the coast that are
14 vulnerable, and I think this is topical -- timely and
15 topical -- because of currently plans to replace
16 facilities through once-through cooling regulations. And
17 considering we are repowering facilities in the same
18 location, and if so are they going to be vulnerable to
19 the sea level rise impacts, as well, you did not call out
20 specifically San Onofre or Diablo Canyon, and I was just
21 wondering if you wanted to comment on any possible
22 impacts to some of the nuclear facilities.

23 DR. DALE: My understanding is that they do have
24 the same efficiency impacts, maybe even larger than
25 natural gas plants. I think that's true for coal, as

1 well, but we didn't focus on those, in particular, we
2 looked mostly at the natural gas plants as representative
3 of thermal power plants.

4 COMMISSIONER PETERMAN: Thank you. We noticed
5 that Humboldt is up there as one of your plants, that
6 scenario where some of the spent nuclear fuel is stored,
7 and so that brings concern, as well.

8 DR. DALE: I actually visited that plant,
9 actually ex-plant, or soon to be ex-plant, and it's
10 pretty astonishing what they have to do. There's a guard
11 there all the time, there's fences around that spent
12 fuel, it's located about, I don't know, 50-feet above,
13 maybe 75-feet above sea level. If you had a big enough
14 tidal wave, it could be a problem.

15 CHAIRMAN WEISENMILLER: A couple questions.
16 Obviously, I tend to distinguish between siting which
17 gets you the 40 or 50-year issues and the planning which
18 gets you more in the 10 or 20-year issues.

19 DR. DALE: Right.

20 CHAIRMAN WEISENMILLER: So in terms of, you're
21 obviously looking at 2050, or, you know, 2100, so in
22 terms of looking at that 2020 to 2030, what can you say
23 from your study about that period?

24 DR. DALE: I think --

25 CHAIRMAN WEISENMILLER: If anything.

1 DR. DALE: -- yeah. Well, I can give you an idea
2 of the impacts mid-Century. And a number of the natural
3 gas plants, or similar kinds of plants that might be put
4 in place now are going to be around long enough to see
5 some of the bigger impacts that we're talking about, so
6 you have to keep in mind, I think, the long range impacts
7 in order to plan well, even for short run impacts. But I
8 don't -- we didn't specifically do a short-run planning
9 study like that, and I think, you know, one piece of
10 advice would be that there are different kinds of energy
11 generation that seem to be less vulnerable to the impacts
12 of climate change, and those could include both wind and
13 solar, distributed generation, all of those are --
14 because of this study, I think in my own mind -- somewhat
15 more valuable than we would have otherwise thought. But
16 those are the kinds of lessons I guess I would suggest
17 for the near term.

18 CHAIRMAN WEISENMILLER: The other thing, which
19 we've experienced in terms of impacts on the
20 infrastructure in Southern California, have been sort of
21 windstorms knocking out, and part of the question is, is
22 there any likelihood that extreme windstorms are
23 connected to climate change?

24 DR. DALE: I think there is and we spent a good
25 while trying to figure out how we could try to

1 incorporate the information that's now available into the
2 study. It's difficult and the climate models are, I
3 think, not -- they're not unanimous about what is
4 suggested for winds. Some of the studies are showing
5 that Santa winds might become less severe in the future,
6 at least that's one of the things I heard. And Dan Cayan
7 probably can -- is in the room, I think, or was a little
8 while ago -- might be able to tell you more about the
9 degree to which those kinds of studies are becoming
10 feasible with the better data that we're now getting from
11 the climate scientists. But I think it was not quite
12 feasible -- we just decided it wasn't quite feasible at
13 this stage to do that analysis.

14 CHAIRMAN WEISENMILLER: Yeah, and the other one,
15 if you go back to the slide on transmission line
16 vulnerability for a second, that it was surprising to me,
17 at least, there's been a lot of public attention in terms
18 of the wildfire impacts down in San Diego.

19 DR. DALE: Yeah.

20 CHAIRMAN WEISENMILLER: And so at least looking
21 at what seemed to be the SWPL and Sunrise corridors, it's
22 not obvious that there's much of a concern there.

23 DR. DALE: Down here?

24 CHAIRMAN WEISENMILLER: Yeah.

25 DR. DALE: Yeah, I think -- well, one of the

1 problems is that we're looking at impacts only to the
2 larger transmission lines and we aren't looking at the
3 smaller transmission lines around the distribution
4 transmission lines that are closer to the urban areas.
5 And I think that's where the fire impacts are in San
6 Diego, they're in the hills surrounding the city where
7 there's a lot of development and a lot of smaller
8 transmission lines. So, you know, that's a big caveat to
9 this study, we were only looking at impacts to the larger
10 transmission lines of California's electricity grid.

11 CHAIRMAN WEISENMILLER: My final question is
12 just, as we look at -- right now, we're committed to a
13 very strong roll-out of EV, and that's certainly going to
14 put more stress on the distribution system, particularly
15 in terms of charging at night, and so trying to
16 understand how your climate impacts, weather impacts, on
17 when we suddenly start having much more charging in the
18 distribution system overnight, how those interact.

19 DR. DALE: Yeah, we didn't look at that, that
20 time period. But we did look at substation risk and a lot
21 of the transformers in substations, you know, when a
22 substation stepped down the electricity from the larger
23 transmission lines down to an electricity voltage wattage
24 that can be used in homes, and substations are vulnerable
25 not only to peak temperature impacts during the day, but

1 also to a sort of -- a long run temperature impact,
2 including temperatures at night. They need to cool down.
3 And they're not going to be cooling down as much. I
4 think one of the things we heard earlier is that
5 nighttime temperatures, in fact, are going to be going up
6 more than daytime temperatures during some peak heat
7 storms. So there is a risk, yet another risk we haven't
8 really focused on in this study, there's a lot of stuff
9 that you would like to look at if you're really going to
10 try to pin down the various facets of the risks that are
11 facing the infrastructure.

12 COMMISSIONER SANDOVAL: Thank you very much. I
13 was wondering if you could just explain a little bit for
14 the record, a little bit about the technical aspects of
15 why increased temperatures make gas plants less
16 effective? You said that it was eight percent less
17 effective. Could you just give us a little bit more
18 information about technically why that happens?

19 DR. DALE: I'm really the wrong person to answer
20 this question, but I can take a stab at it. There's
21 surprisingly little literature about this, but we did
22 find a couple of studies that showed how -- showed the
23 impact of temperature on plant efficiency, and generally
24 nameplate capacity for these plants is estimated at a
25 temperature of around 59 degrees, so capacity is actually

1 a little bit larger, below that temperature, and it tends
2 to be about one percent lower for every degree you go
3 higher than that temperature. So a current peak period
4 capacity for a natural gas plant, a typical natural gas
5 plant, is going to be around 20-25 percent. Now, I'm
6 averaging across the two main types of plants that we
7 have. We have combined cycle plants, which are a little
8 bit less vulnerable to temperature rises, and simply
9 cycle plants, which you have about 40 percent of the
10 total in the state, and they're more vulnerable. We tend
11 to be moving more towards the combined cycle plants. We
12 have some plants that have chillers that would be even
13 less vulnerable to rising temperatures than those shown
14 in the slide.

15 COMMISSIONER SANDOVAL: Okay, great. And then
16 the same for transmission lines, I know that also with
17 transmission lines that certainly as they are required to
18 carry more capacity, some of them actually will also sag,
19 so that's something that we're looking for, as well, in
20 preparation for this summer. But, again, could you
21 explain a little bit for the record about why
22 transmission lines are also affected as not only you have
23 increased demand, but also as it gets hotter?

24 DR. DALE: Yeah, well, during the same periods
25 that you have increased demand and a high fire risk,

1 you're going to have -- the lines are going to be hotter,
2 there's more electricity going through them. And they're
3 made of metal, and metal expands when it's hot, and so
4 they tend to sag everywhere. Some of the lines are less
5 vulnerable to that than others. And one of the problems
6 is we really had no detailed information about the
7 transmission lines, and that's not something that's
8 readily available, so it's hard to make a detailed
9 estimate about that kind of a risk, but it certainly is
10 there.

11 COMMISSIONER SANDOVAL: So it sounds like it's a
12 combination of the demand side, as well as just simply
13 heat would expand the metal, and then you add more demand
14 to it, so both of those factors might expand. And then,
15 what you were saying, that substations need to cool down
16 at night, I know that transformers also need to cool down
17 at night, so that's something that would affect us at the
18 distribution level, as well. So did your study also
19 encompass the impact on transformers?

20 DR. DALE: Yeah, and we didn't really -- in the
21 summer I presented, I didn't talk about the increased
22 risk of the transformers blowing up, they are part of the
23 substations I'm talking about, though. Overall,
24 efficiency was dropping and we did include that in the
25 summary estimates, but there is also increased risk of

1 failure. In general, the utilities have a pretty good
2 sense of what the failure rates are for different
3 temperatures, and so if they're on top of it, if they get
4 the rate increases they would need to cover all these
5 costs, and if they are planning far enough ahead, then
6 they can replace the transformers frequently enough in
7 order to avoid that kind of failure.

8 And I should just mention one other thing, you
9 know, this notion that there's all these different ways
10 that are hard to anticipate, one of the things we did
11 look at was the possibility of transmission line failure
12 in the event of extended dead air spells, and the
13 transmission lines need to be kept, you know, they can
14 suffer both capacity loss and the sag problem that you're
15 mentioning, as well as some efficiency losses. All of
16 those problems can get significantly worse as the lines
17 get hotter, and right now they generally assume a tiny
18 bit of wind, at least two miles per hour wind around the
19 lines, but if climate change also brings higher frequency
20 of dead air spells, something that we haven't looked at
21 -- I don't know if anybody has -- those lines could be at
22 significantly more risk than they are now.

23 COMMISSIONER SANDOVAL: Thank you.

24 COMMISSIONER PETERMAN: This is Commissioner
25 Peterman. I'll also just note that some of our renewable

1 facilities will be affected by the higher temperatures,
2 as well, such as solar PV, the efficiency of those
3 facilities is decreased with higher temperatures, and so,
4 going forward, as we're building out more renewables it's
5 still an important issue to look at, and I was wondering
6 if your study touched upon that.

7 DR. DALE: We didn't cover wind or solar, we of
8 course recommend that be done. I think it's the thermal
9 solar that's most at risk, that would be the biggest
10 technical problem for that, the efficiencies of that
11 would be dropping. PV, I'm not -- it's a little bit less
12 efficient, I don't know that it's significantly less
13 efficient, that would be more vulnerable to higher
14 cloudiness problems.

15 COMMISSIONER PETERMAN: I think, considering the
16 scale at which we're increasing our investment, in solar
17 PV, in particular, that's an area I'd like to get some
18 more information about. It sounds like there's a lot of
19 possible follow-up to your study, as well, which is
20 great.

21 DR. DALE: Thank you.

22 COMMISSIONER PETERMAN: I think we're about to
23 transition to the next speaker and we are running behind
24 schedule, as is the case, and so I would say to Guido,
25 since he is one of our own, if you can go quicker, that's

1 all the better, but it's all good information, so we
2 appreciate you all being here and bearing with us on
3 time. Thank you.

4 DR. FRANCO: Will do. Okay, so far -- well, so
5 I'm going to talk about the potential impacts of climate
6 change on renewable sources of energy. I'm going to talk
7 about hydro because there was already a very good talk
8 about hydro, so I'm going to talk about the impacts to PV
9 systems and other systems.

10 Okay, so first I would like to acknowledge two
11 people that really helped me a lot. Whenever I have to
12 read a very difficult journal, paper for the scientific
13 literature, they are there to help me, and they are
14 there. They are Max and Olive. I don't know if you have
15 heard about the CAT team, well, now you see them.

16 Okay, so also going to talk about bioenergy and
17 I'll touch a little bit about the issue of water
18 operability and the electricity system. And then I will
19 conclude.

20 So wind resources, first of all, you may have
21 heard that wind speeds are slowing down in the United
22 States, there are some issues about this, but I will now
23 talk about them. But if you look at the southwest, at
24 least for this -- and this is one of the major papers to
25 come out from the literature recently -- showing for the

1 southwest, wind velocities are not slowing down. That
2 includes, of course, California. And not only that, also
3 the high wind speeds are not slowing down. So, at least
4 for an historical context, it seems that wind resources
5 are still viable. Well, some research has done a lot of
6 regional climate models using dynamic models, these are
7 models that simulate the physics involved in weather, and
8 here are some of the outputs of their model for the
9 historical period.

10 Plot A is supposed to be the historic conditions
11 and the other ones are realizations from the different
12 models, making combinations of output from the global
13 climate models with downscaling use in regional dynamic
14 climate models. And I don't want to get into details,
15 the only thing that I think is worth noting is that the
16 modeling outputs are not very close to the historical
17 realizations, so -- and also, the one thing that they
18 did, I mean, that's one thing to say here is that, I
19 mean, so be careful when your research is showing you
20 potential impacts to climate change on wind resources; if
21 the historical simulations are not good, I will at least
22 doubt the accuracy of any projections. But they did
23 involve some -- I mean, perform some projections for the
24 future and the end result is with their models they see
25 that changes are not outside of the natural climate

1 variability in the historical record. So the bottom line
2 is that it seems that, at least for the next 50 years,
3 wind resources will be a viable source of energy in the
4 United States.

5 There are other ones that have tried to simulate
6 conditions here in California, here is Altamont, San
7 Gorgonio, and Tehachapi, the black line is the
8 observations, the other ones are the simulations, the
9 same message, since I'm going to go fast, basically, I
10 mean, be careful when somebody tells you that wind
11 velocities are going down.

12 But we asked Dan Cayan from Scripps to develop a
13 new statistical downscaling technique, what it does is to
14 take the largest scale features of the global climate
15 models and translate them into what will happen at the
16 local regional level, in this case California, with the
17 idea that the global climate models are not supposed to
18 simulate very well regional features, but are supposed to
19 simulate very well large scale features. And he did the
20 analysis for three areas of importance for wind
21 resources, he used three global climate models and one
22 global climate scenario, so I'm just using the advance
23 conclusions, distinctions between climate models prevent
24 any definite consensus. So the bottom line is that,
25 since we don't know, winds may not change, at least in

1 California.

2 Now let's go to photovoltaics and concentrate on
3 solar. This is a study that came out recently in
4 *Environmental Science and Technology*, this is a study
5 done by researchers in Japan looking at the worldwide
6 potentials of PVs. In this case, the map at the bottom,
7 the focus here, is the amount of deficiency of
8 photovoltaics without taking temperatures including
9 account, and this is historical conditions. And over
10 here is taking into account temperatures. So as you can
11 see, the orange colors in the Southwest became yellow,
12 that means there is already a 10 percent decrease in
13 efficiency on photovoltaics. This is the conventional
14 photovoltaics; there are other type of photovoltaic that
15 have the effects, it is not as great as this. So the
16 bottom line is that, like was mentioned before, you know,
17 with increased temperature, if we continue using the same
18 type that is commonly used right now, the efficiency of
19 photovoltaics will go down.

20 With respect to solar, the main factor affecting
21 efficiency is the amount of direct solar radiation
22 reaching the surface of the earth, that's when it is very
23 sunny we get direct solar radiation, we will have low
24 clouds, and the solar radiation is diffuse, is the
25 indirect type of solar radiation reaching the ground.

1 And they did analyze conditions in California, this
2 little dot there is supposed to be California, I mean, I
3 can go on and on about this, but the bottom line is that
4 -- I mean, they didn't find a consistent response for
5 California -- the bottom line is that concentrate solar
6 power, we don't know how climate change will affect
7 cloudiness, and therefore how it will impact
8 concentrating solar power units.

9 It is not surprising because the IPCC and several
10 scientists always tell us that one of the greatest
11 uncertainties on climate projections is the role of
12 clouds, and not only clouds, but how aerosols interact
13 with clouds, and therefore how it will affect the amount
14 of solar radiation reaching the ground. We are finding
15 similar results for California and we have several
16 studies going on at Scripps, LBNL, and NOAA, looking at
17 this issue, the interaction between aerosols and clouds
18 and regional climate.

19 Water and evolution in the energy system -- Dan
20 mentioned, and Joshua also mentioned that there is this
21 tendency towards drier conditions in California, at least
22 for the southern part of California, and in general the
23 Southwest. So that basically will mean less water
24 available for everything, including power -- I mean the
25 use of water to cool our power plants. I mean, Dan Cayan

1 is going to talk about potential scenarios for California
2 from the Western United States for the electricity Grid
3 and, I mean, I think he's going to tell us that high
4 penetration of solar renewables are feasible. So I'm
5 sort of combining that with the result that was published
6 late last year by the Pacific Institute, looking at the
7 implications of using more renewables to water
8 withdrawals for power generation. And the implication
9 is, the bottom line is, that more renewables tend to
10 reduce water consumption, solar PV and wind mainly, but
11 in addition to that, that it is possible to use also
12 hybrid type of cooling, also dry cooling, that will
13 further reduce the amount of water that will be needed to
14 cool our power plants. We have a study related to this
15 that we call the development of energy scenarios for
16 California and their potential environmental
17 implications. It's going to be looking at these type of
18 issues and then Dan is going to be talking about that
19 this afternoon.

20 Bioenergy -- I reached -- I mean, I tried to find
21 papers from bioenergy, I mean, I found a lot of papers
22 about how bioenergy could reduce or penetrate into the
23 energy mix that we have, but I didn't find papers about
24 how climate change will affect bioenergy. I talked to a
25 lot of experts and they said all of these studies are

1 forthcoming. In part, it is that, I mean, in order to do
2 a study like this, we really need to know the
3 geographical location where the bioenergy systems will
4 evolve. And fortunately, there are some already
5 background studies, foundational studies, that are doing
6 like this, for example, the study by Parker, et al. at
7 U.C. Davis, we're also funding him now, I believe, or
8 very soon, to do more detailed studies for California,
9 and studies also funded by PIER looking at the potential
10 impact of climate change to crop yields, to forest
11 resources. Together with this type of information,
12 plastic regional climate models will allow us to look at
13 the potential impacts of climate change to bioenergy in
14 California. But at the same time, I believe there are
15 enough number of options that we could adopt in order to
16 mitigate any negative impact of climate change on
17 bioenergy. So the conclusions are there. I think I will
18 stop here, so I will be glad to answer any questions that
19 you may have. [Applause]

20 COMMISSIONER PETERMAN: Thank you. That was a
21 good overview. Any questions? No. I was going to say,
22 you are the most polite audience I've ever seen at an
23 IEPR Workshop because I don't think I've ever been to one
24 where people actually clap, so that shows your optimism,
25 as well as your appreciation for the research we're

1 having presented. So thank you.

2 MS. KOROSSEC: All right. Our final speaker
3 before we break for lunch, an unenviable position, I
4 know, is Lee Hannah from U.C. Santa Barbara.

5 DR. HANNAH: Thank you. Thank you for inviting
6 me. I have a cold; if you can't hear, just raise your
7 hand and I'll try to get closer to the mic here. With
8 lunch just around the corner, I guess it's only
9 appropriate that I'm here to offer food for thought, and
10 I'll try to do so in a timeframe that lets you get the
11 actual food in a timely manner.

12 What I'm going to talk about at the end of the
13 morning here is the impact of climate change on species
14 and ecosystems and the possible implications of that for
15 siting energy facilities and transmission specifically
16 within California. But I'll be talking in general about
17 the problem, trying to frame the problem, describe some
18 of the tools we have to address the issue, and then make
19 a few recommendations about how we might proceed.

20 And in contrast to our previous talks, some of
21 which have shown the results of some excellent research,
22 much of it which wouldn't exist without support from the
23 PIER Program, this is really looking ahead to an issue
24 that we're just beginning to come to grips with, and it's
25 a very complex issue which is really the intersection of

1 two complex issues, one of which is energy siting, and
2 the other of which is climate change impacts on species.
3 So this first slide is just to illustrate the impact of
4 climate change on species is something that's an
5 immediate research interest, and it's receiving a lot of
6 attention, but is also quite complicated and is being
7 dealt with in book leaf treatments such as this recent
8 work that I and a number of co-authors produced with
9 *Island Press*.

10 The other complex problem that's coming together
11 in this intersection is that of energy siting. And -- if
12 this is my laser pointer -- the background to the graph
13 here simply indicates the area needs of different types
14 of research technologies, and some of the lower -- if we
15 were in a nuclear future, we might have very low energy
16 land use needs, but we're much more likely to be in a
17 renewable energy future where we're going to have land
18 use needs that may be larger than we've had for energy
19 and for structure in the past, and one to note here is
20 biofuels, which is just this very area intensive
21 renewable technology, and the noteworthy thing is it's on
22 a completely different scale from these other renewable
23 sources. So the other renewable sources are scaled here.
24 Biofuels has its own scale here, which is about 10 times
25 greater than these other renewable sources. So, if I was

1 to show biofuels on the same scale as other -- as the
2 area demands of other renewable energy resources, I'd
3 have to go all Al Gore on you here and it would go up
4 through the roof somewhere.

5 But these even intermediate renewable energy
6 technologies have significant area demands, and those
7 area demands, as people in this room are well aware,
8 requires significant planning exercises for siting. And
9 one of the elements of those planning exercises are
10 considerations of species and ecosystems, both for
11 regulatory reasons, but also because species and
12 ecosystems are part of what we value about living in
13 California, and we want to see those values represented
14 and considered in our energy siting processes.

15 So what do we know about what climate change does
16 to species and ecosystems? Well, what we know more than
17 anything else is that, when climate changes, species
18 move. And these charts illustrate that for North America
19 one of the biggest climate changes in recent sort of
20 geologic history is the retreat of the ice sheets, 20,000
21 to 10,000 years ago, and when that happened, oaks had --
22 when the ice sheets were in full bore, oaks had a
23 distribution that was centered in the Central South of
24 the U.S., and by the time the ice age was over, oaks had
25 a central distribution more in the Northeast. And that

1 is true of a number of tree species and all sorts of
2 other species, and we see it all over the world. One of
3 the things that means, though, as well, and that's
4 illustrated in these panels on the right about biomes, is
5 that different species move at different rates in
6 response to climate change. So, what we may think of as
7 vegetation communities now, different sets of plants that
8 are found together right now, may not be found together
9 in the future, and may not have been found together in
10 the past. So a particular set of climatic conditions
11 leads to a certain type of plant community and, then, as
12 climate changes, species move individualistically, and
13 plant communities are sort of literally torn apart, if
14 you want to be dramatic about it, and then reassembled in
15 what are often referred to as "novel assemblages." So we
16 may wind up in the future with some of the sort of plant
17 communities that we're used to now, but we may wind up
18 with quite different ones.

19 And while the climate change is human induced,
20 that process of species rearranging themselves is
21 entirely natural. And part of our challenge is to figure
22 out how to accommodate that natural process or
23 rearrangement as we plan for the future. My specialty is
24 planning conservation strategies for the future, but in
25 this case we're talking about how can we plan our energy

1 infrastructure for the future and those sorts of species
2 movements.

3 Okay, that was data from the past. Just to
4 illustrate quickly that we're already seeing changes in
5 species ranges, we're seeing species move due to climate
6 change already due to human induced climate change, up
7 here in the upper right we have a set of slides from
8 England, the blue areas are the traditional areas, ranges
9 of species, and then the yellow and red dots represent
10 where species have been found over the last couple of
11 decades as climate is warmed and these species have
12 expanded their ranges.

13 The Antarctic example is a little more complex
14 and, in the interest of getting us all to lunch, I may
15 gloss over it, but the short story here is that some
16 penguin populations in Antarctica are increasing and some
17 are decreasing. And that may seem anomalous in a
18 generally warming world, but in fact Antarctica is
19 insulated from much of the warming that's taking place in
20 the rest of the planet by circum-Antarctic winds. And in
21 the Antarctic Peninsula that juts out from those circum-
22 polar winds, warming is taking place and penguin
23 populations are suffering because, simply put, penguins
24 like cold, whereas, in other places the intensification
25 of those circum-polar winds is resulting in increased sea

1 ice and growing penguin populations because penguins like
2 sea ice, they actually feed on things that grow under sea
3 ice. And I included that example just to illustrate that
4 it's not always warming that we're worried about. The
5 climate change is a complex set of conditions which is
6 one of the reasons the term is now "climate change"
7 rather than "global warming," in general, although you
8 can debate the political side of that, the changes that
9 we're seeing are definitely complex and we have to worry
10 about complex changes in species.

11 And then if we want to look a little bit closer
12 to home and think about how widespread these changes
13 might be, we don't have to go any farther than looking at
14 Lodgepole Pines and Bark Beetles. Climate change warming
15 has driven huge outbreaks of bark beetles across the
16 Western U.S. and Western North America into Canada, it's
17 allowing bark beetles to jump over the Continental Divide
18 and gaps in forests that formerly kept them out of
19 eastern forests, and so we may have western species
20 moving into eastern forests and causing widespread
21 destruction, which impacts tourism, it impacts timber, it
22 impacts wildfire probabilities, it has a large number of
23 impacts. So that's just one example of the very real
24 sense in which we're already living in a world in which
25 climate change is affecting species and ecosystems. And

1 we need to be planning for that.

2 So as we do energy siting, what are the sort of
3 tools we have to deal with this problem? One of the
4 tools we have are known as Species Distribution Models,
5 and as their name implies, they tell us about where
6 species are in response to climate, and this graphic
7 simply illustrates that a Species Distribution Model
8 considers multiple sorts of climate and soil variables,
9 and then uses a species' existing distribution to predict
10 where you might find that species, and that's important
11 in some senses in the conservation realm because we don't
12 always know every place a species exists, and we might
13 like to if we're trying to site a park, or decide whether
14 an energy infrastructure has an impact on a species, we
15 may not have observed that species there, but we'd like
16 to know where they are.

17 But the other utility of Species Distribution
18 Models are that we can take information from Global
19 Climate Models and put future climate conditions into the
20 model and have it project where the species would be in
21 the future. And in order to properly site something in a
22 changing climate, we need to think about both where the
23 species is now and where the species is in the future.
24 So if that means that we're taking something that's
25 already a politically fraught conversation, a very

1 complex negotiation, and then we're saying the target is
2 moving, yes, unfortunately that's exactly what we're
3 saying, and that's what we have to be able to plan for,
4 and that's really the challenge.

5 You can take those Species Distribution Models,
6 then, and put them into a geographic space, and look at
7 where a species is now and where it might be in the
8 future, and I just happened to grab this Pigmy Spotted
9 Skunk from Mexico as an example, but the colors here
10 represent simply where that species is found in different
11 decades from 2010 up until 2050, and with information
12 like this, you can then begin to look at areas that are
13 very important for this species, these purplish areas
14 where it's found in all time slices are then places where
15 that species is likely to persist, and those might be
16 good areas to avoid, they would be good areas to put a
17 conservation area, they would be areas you might like to
18 avoid as you're siting an energy project.

19 And then the problem gets slightly more
20 complicated because we won't be able to always find those
21 areas where a species is going to exist for decades until
22 2050, or until the end of the Century, we're going to
23 have to recognize that some species are going to move as
24 we're experiencing climate change, and that we have to
25 take into account those movements. And one method for

1 doing that is a Network Flow Analysis, and this is based
2 on an algorithm that United Airlines or UPS uses to route
3 packages or passengers or jets around the country, and we
4 simply apply it using Species Distribution Models to the
5 problem of climate change. And what we do is we
6 construct one of those Species Distribution Models that I
7 just showed an example of for a large number of species,
8 and then we ask, well, what are the most efficient ways
9 for that species to be represented in every time step
10 from the present to a future target, in this case 2050?
11 And sometimes those species can stay in one place, those
12 are the easy ones, and sometimes they're going to have to
13 move a little bit. And this part of the diagram
14 illustrates trying to find habitat that's suitable and
15 link it together all the way to suitable habitat in 2050.
16 So even when your suitable habitat in the present isn't
17 in the same place as it is in 2050, by linking suitable
18 habitat together, you can form a chain of suitable
19 habitat that gets a species from where it is now to where
20 it would be in the future. And then you can ask where
21 those chains are and where they should be if we were
22 planning for conservation or energy design. And this is
23 just an example using multiple plant species from
24 California, the green colors indicate public lands, or
25 lands that are already in conservation uses. The yellow

1 areas indicate private lands that hold areas particularly
2 important for a large number of species to move as they
3 respond to climate change. And that doesn't mean you
4 need all those yellow areas, but that means that those
5 yellow areas might be good places to think about avoiding
6 as you're siting infrastructure, or would be good places
7 to think about placing conservation.

8 Another possible technology is an analogy really
9 from the physical realm and it's the Circuit Scape
10 Technology that has been developed at U.C.S.B. and the
11 National Center for Ecological Analysis and Synthesis,
12 University of Washington, and it simply uses an
13 electrical circuit analogy for movement of species, and
14 in this particular case we're showing for the desert,
15 populations of Bighorn Sheep, which are in the white
16 areas, and then you estimate the habitat quality
17 throughout the entire area, and then a computer algorithm
18 that simulates electrical circuit asks where flow would
19 be, where population movements would be between these
20 established populations. And the higher the lighter
21 colors, the warmer colors here, illustrating areas that
22 might be particularly important, in this case for Bighorn
23 Sheep movement in the desert. This happens to be a model
24 of their potential movements in the present, but you can
25 also do a model for potential movements in the future,

1 and ask what areas they're shifting, and which areas are
2 constant, and where you might want to conserve or avoid
3 siting in order to not break connectivity in these
4 population movements.

5 So, in this case, the populations are unlikely to
6 move, they might disappear as conditions warm because
7 these are mountaintop populations, and those cool
8 mountaintops might become too warm for Bighorn. But, in
9 general, what you would be concerned about is their
10 ability to move between these relatively isolated
11 populations, which is very important because these are
12 small populations, and to have a successful genetic pool
13 for survival, there needs to be movement between these
14 populations. So both for plants, but also for more
15 mobile mammals, we have some tools that we can apply to
16 this problem.

17 And so looking at the intersection between these
18 two problems, what are some recommendations we can make
19 for the future? Well, in terms of energy siting,
20 unfortunately for impacts on climate change on species,
21 the attributes we might like to see would be relatively
22 short lifetimes of infrastructure, so that we'd have a
23 very adaptable system. We'd like to see it going in very
24 gradually so that things would mature at different times
25 and we could adapt as they mature, and we'd also like to

1 see a situation in which we probably don't have a lot of
2 linear disruptions in the landscape because things are
3 moving and linear features will be detrimental.
4 Unfortunately, those are probably exactly the reverse of
5 the attributes we'll actually have. We have very long
6 lived infrastructure, we have a situation in which we're
7 probably going to put in a lot of renewable energy all at
8 once, and it's going to mature all at once at some point
9 in the future as that infrastructure gets older. And
10 then, finally, we have transmission corridors which are a
11 very important part of guiding where infrastructure,
12 where energy facilities are going to go, which are
13 generally linear features, are going to tend to configure
14 disruptions in the landscape in linear ways. So that
15 just means that we've got a very thorny problem with a
16 lot of the attributes that we wouldn't like to have, we
17 can't really change that, but what we can do is recognize
18 that it's a difficult problem, try to fold consideration
19 for species in in the best ways that we can. The best
20 practice for doing that is really through a participatory
21 vulnerability assessment. When we try to assess the
22 impacts of climate change on communities or species, we
23 generally try to get the best scientists, the best
24 biologists together with the best climate change people,
25 and let them talk it through because there's no set

1 recipe; although we have these tools for addressing it,
2 there's uncertainty in climate models, there's
3 uncertainty in these biological models, there's a lot of
4 value in expert opinion, and so a great way to do that is
5 to bring together experts in an interactive form with
6 policy makers and try to work through some of these
7 thorny issues.

8 A second thought is that transmission corridors
9 are of particular concern because it's a long complicated
10 permitting process, and once those transmission corridors
11 go in, they're going to tend to attract energy
12 development along those corridors, so we need to pay
13 particular attention to that problem, but I must say,
14 having looked at it a little bit over the last few
15 months, it's a very complex process and it's difficult to
16 know where the pressure points are, or how to influence
17 that process in a long term sense.

18 And we need to still think about flexibility and
19 adaptive management, even though we may have some very
20 hard constraints on flexibility because we just will need
21 to recognize that there's uncertainty in climate change,
22 uncertainty in species responses, and we'll have to be
23 adjusting on the fly, even if we have locked in a
24 majority of our infrastructure in a short period of time.

25 And finally, again, tools -- the sorts of tools

1 we've described are really valuable, it's really
2 important to use the tools we have, and to do them well,
3 but the tools themselves are not enough. What tends to
4 happen sometimes in siting exercises is that studies are
5 done, that's laid out as facts, and then the process is
6 all in determining a balance between stakeholder
7 concerns. In this particular setting, there's quite a
8 bit of uncertainty in the science that needs to be
9 discussed and understood to reach a reasonable decision,
10 so we need to have the experts involved not just in
11 producing reports, but in actually interacting with
12 policy makers and managers to try and determine the best
13 viable solutions.

14 So that's a snapshot of two very complex issues
15 coming together. Hopefully, you know, there's optimism
16 for the future because we recognize some of the
17 difficulty of the problem, we know how to address it, we
18 have some tools for addressing the problem, but there's a
19 lot of work to be done on this one. Thank you.

20 [Applause]

21 COMMISSIONER PETERMAN: Thank you very much. And
22 I find your recommendations sobering just for the reason
23 you pointed out, that they are not necessarily in line
24 with how we are proceeding ahead, but good to be aware
25 of. I think, Chairman, do you have a question?

1 COMMISSIONER DOUGLAS: I have -- oh, I'm sorry,
2 would you like --

3 COMMISSIONER PETERMAN: Everyone is biting at --
4 ladies first, please, go ahead.

5 COMMISSIONER DOUGLAS: Oh, thank you,
6 Commissioner Peterman. I just wanted to make a comment
7 more than a question, you know, first of all we have a
8 number of the participants in the Desert Renewable Energy
9 Conservation Plan in the room, and actually we were
10 having a meeting upstairs and we -- I might have warned
11 you at the beginning -- but came down for this, so we've
12 got Lorelei Oviatt in the audience, the Community
13 Development Director from Kern County, and David Harlow,
14 the DRECP Director, and a couple of other people, and
15 obviously we are actually making an effort to do
16 landscape conservation planning and renewable energy
17 siting, and this is the only example in the country where
18 this is being done at any sort of scale, or at all, and
19 it's begun at a pretty large scale. You know, I guess
20 I'll just ask you, as you went through your presentation
21 it was almost painfully familiar as you walked through
22 the different steps and the different considerations, and
23 in fact the reality that we are doing the best planning
24 we can in a context where we know that the world is going
25 to be substantially different for many of the same

1 creatures that we're planning for. You know, what are
2 your thoughts in terms of the degree to which we can take
3 climate change into account and the effectiveness of
4 current tools to do that?

5 DR. HANNAH: Well, I think speaking in general
6 I'm quite optimistic because the tools we have are
7 evolving very rapidly and we actually have a very good
8 understanding of climate change impacts on species and
9 ecosystems from paleoecology, some of those past
10 exercises. So there are different realms that we can
11 draw expertise from, but we're racing to keep up with
12 planning and you know from working in the desert that
13 it's kind of ironic that we're working as fast as we can
14 to try and solve this problem, and it's creating a set of
15 problems that we're having to deal with, and we really
16 need to anticipate if we're to avoid really serious sort
17 of conflicts and consequences in the future. And
18 definitely, you know, I think the planning process that's
19 going on here for the desert is leading the country, if
20 not the world, in these sorts of processes, but it's
21 difficult and needs all the support that everybody can
22 offer to it.

23 CHAIRMAN WEISENMILLER: Okay, I have an
24 observation and a question, and the observation, last
25 year we had an IEPR session on what happened to Japan and

1 the consequences, and one of the nuclear engineers
2 started out by saying, well, if you really look at the
3 land use implications of nuclear vs. renewable, blah,
4 blah, blah, so I marched him through the calculations of
5 comparing the land use implications in Japan on the
6 evacuation zones and the contamination zones, and
7 obviously, you know, for an unusual event, but they were
8 much larger in renewables and actually were of a much
9 different consequence, so it would just discourage that
10 part of the mythology.

11 I guess one of the more interesting questions
12 that we're really struggling with, particularly in the
13 wind context, is with wind reduction in the Condors, you
14 know, their areas are really expanding dramatically and,
15 at the same time, just trying to figure out that
16 expansion overlaid with climate, what that means for us
17 as we try to think through the wind siting.

18 DR. HANNAH: Right, and I think that's just a
19 great example of the sorts of things we have to be
20 looking at, and there are two sorts of species here, one
21 of which are already in trouble and we need to be worried
22 about those and the impacts to climate change on those
23 species in the future. We've tended to assume that --
24 and this is sort of pre the planning process that we're
25 undergoing now, but 15 years ago we would have assumed

1 that we had threatened species, that if we sort of stayed
2 away from the places that were good for them, and then if
3 we did have to impact a place that was good for them, we
4 did mitigation and created someplace that took care of
5 them, that once we did that, those species would stay in
6 those same places, and we were good. But now we see that
7 that's not necessarily the case. Those threatened
8 species may themselves start to move around in places
9 that were good for mitigation now, might turn out in the
10 future not to be, hopefully they would be, but we need to
11 look at that. But the other category of species are
12 species that aren't in trouble now, and those species may
13 get in trouble in the future due to climate change, and
14 while, as I say, there's uncertainty involved in that, we
15 need to try and anticipate that because, to the degree to
16 which we can fold that into our planning now, we'll just
17 save us untold headaches, I think, in the future, or if
18 we don't consider it at all in the future, then we'll
19 wind up with a number of extinctions, which I think, you
20 know, legally and morally we want to avoid.

21 COMMISSIONER SANDOVAL: It certainly sound like
22 with migration that these are things that we need to
23 model out as we look at things like transmission lines,
24 you know. I know that there already are issues where
25 sometimes you do the best work you can and then

1 unexpected things are happening, but it also sounds like
2 we have to be prepared for species moving. So how much
3 is the science really available to do that kind of
4 modeling as we plan for the expansion of transmission?
5 And we heard that we're going to need more of it because
6 of climate change.

7 DR. HANNAH: Yeah, the tools are there and much
8 of the science that's needed is there. We don't always
9 have the scientists that know the species best doing the
10 climate change modeling yet, but it's getting there. The
11 Desert Tortoise people are getting there, and I think
12 scientists who care about the species they study, which
13 is most of them, recognize that climate change has
14 serious implications for the long term survival of
15 species, and those scientists are scrambling to come up
16 to speed on these tools. But there's still a challenge
17 of putting the science together with the tools and the
18 biologists together with the climatologists because you
19 can't just assume that a GCM captures everything you want
20 to know about a system, and you need to talk to the
21 climate people to understand how biology and climate work
22 together. So we can do a lot of good work with the
23 tools, but it's not just mechanical cranking it out, you
24 really need to be interacting with climatologists. We
25 saw earlier how, you know, the GCMs don't always

1 represent wind fields, or some things that affect fire
2 conditions and other things very well yet, and those
3 things can be critically important to species, either
4 directly or indirectly, by fire opening new habitat and
5 allowing species to colonize new areas. So we really
6 have to be talking between disciplines in the sciences to
7 get this right, and then to apply all the tools we have
8 to do it. And I think there are good chances to do that,
9 then, if we have policy makers and managers who are
10 listening, and which you are. Thank you.

11 COMMISSIONER PETERMAN: Great. Thank you very
12 much. So with that, we'll be breaking for lunch and we
13 will return at --

14 MS. KOROSSEC: It's up to you. We can take a full
15 hour and do 1:45, or we can try to catch some time and
16 have everybody back at 1:30, but that does shorten the --

17 COMMISSIONER PETERMAN: I'm just going to say
18 let's go for the full hour. 1:45.

19 MS. KOROSSEC: Okay, 1:45, we'll return. Thank
20 you.

21 COMMISSIONER PETERMAN: Thank you.

22 (Recess at 12:44 p.m.)

23 (Reconvene at 1:50 p.m.)

24 MS. KOROSSEC: All right, our first speaker is
25 Michael McCormick from the Governor's Office of Planning

1 and Research.

2 MR. MCCORMICK: Thank you very much. It's a
3 pleasure to be here today. I think there's probably half
4 the people in the room were actually at the workshop we
5 hosted on April 9th. How many of you worked with OPR in
6 the recent past, say in the last year or so? Raise your
7 hands. Okay, well, we've got about a quarter of the room
8 that's worked with us. How many people have worked
9 directly with local governments or done research specific
10 to local government policy? That's a better show of
11 hands. So you should be talking to OPR, actually.

12 BUD BEEBE: We talked to OPR a decade ago.

13 MR. MCCORMICK: Okay, well, a decade ago. Well,
14 we -- OPR has recently been reconstituted, last year when
15 Governor Brown came in to office, and we've been working
16 on a number of priority items around energy, climate, and
17 inter and intradepartmental coordination among a number
18 of other things. One of the things that we've done
19 recently is we hosted a conference April 9th for local
20 governments to try to bring the tools, resources, and
21 information that's out there right now to them so they
22 could more proactively move forward with addressing
23 climate change, specifically adaptation because there's
24 been a relative lack of information specific to local
25 governments on adaptation.

1 We have a video on our website if you're
2 interested in taking a look, to get the unique local
3 government context of how they're dealing with the
4 adaptation and how they're using the state's data, which
5 is really what I want to focus on right now, particularly
6 the CEC PIER data, which has become really helpful in how
7 local governments move forward with their planning for
8 climate change and energy. Local governments have
9 General Plans, we've got the California Environmental
10 Quality Act, local Coastal Plans, Hazard Management
11 Plans, and now Energy Assurance Plans, Energy Management
12 Plans, and all of these rely a certain amount on State
13 data.

14 What's interesting about the data that PIER has
15 pulled together is that a lot of local governments and
16 regional efforts are using the data that was never meant
17 for them to support their policy development efforts.
18 And one of the things we've found, coming out of the
19 conference April 9th, was that there's a lot of local
20 governments that, lacking other forms of data, have moved
21 forward with data that was specific for the state. And
22 we look at the California Adaptation Strategy in its 2009
23 version, which was primarily focused on State operations,
24 but local governments use that to serve as the basis for
25 their Climate Action Plans, and discussions around

1 climate change in their General Plans, and even in their
2 CEQA documents.

3 So the biggest thing, I think, coming out of that
4 conference for me was that all the work that we're doing
5 at the State level, we really need to take a look at what
6 local governments are doing, and make sure that we
7 provide them context for the materials that we're
8 developing. A lot of the research that we're doing, even
9 though it may be specific to the statewide context, or
10 the state operations context, is also applicable at the
11 local and regional level. And we see this to a certain
12 extent with Cal-Adapt, which was originally created to
13 produce a visual interface with some of the science
14 that's out there, most of which was funded through the
15 CEC PIER Program. But Cal-Adapt has now been actively
16 used by local and regional efforts to help inform their
17 planning decisions as they move forward.

18 The Adaptation Policy Guide, which is another
19 resource being developed by Cal EMA and the Resources
20 Agency is another resource that we're really excited to
21 see out there, the local governments are really eager to
22 interface with, and Cal LEAP, the California Local Energy
23 Assurance Planning tool which, Dave Michelle, if you're
24 interested, is out here in the audience. And so, as OPR,
25 we serve as the Conference of Planning entity for the

1 State, so we're the unique liaison between local
2 governments, regional efforts, and the State, and we help
3 to inform how local governments move forward in planning.
4 So, you know, I'd like to reinforce that, as folks move
5 forward out there, I know I'm speaking to the choir, but
6 if you think about the local government context as you
7 move forward and the regional context, that's where
8 really the rubber hits the road on these planning and
9 implementation efforts. And I think Paul Bunje is going
10 to talk a little bit about this a little bit later, but
11 local governments and regional efforts are really our
12 partners in succeeding in our own goals and our own
13 priorities. If you have any questions about how to
14 interface with local governments, to reach out to them,
15 OPR manages a very current email list of people that are
16 working on the issue. If you ever want feedback, support
17 on anything, let us know, we're happy to engage with you
18 and help distribute information and resources. Thanks
19 again, and I'll pass it off to the next speaker. Have a
20 great afternoon. [Applause]

21 COMMISSIONER PETERMAN: Thank you, Michael. We
22 also heard from Wade Crowfoot this morning, as well, and
23 appreciate both your interest in this area, as well as
24 the opportunity to work with the local governments.

25 MS. KOROSEC: All right. Next, we will hear from

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 Julia Levin from the Natural Resources Agency.

2 MS. LEVIN: Good afternoon, everyone, and thank
3 you for returning after lunch on such a beautiful day. I
4 wanted to start by thanking the Energy Commission,
5 Commissioner Peterman and Chairman Weisenmiller, and all
6 of the staff, for organization and holding this workshop.
7 I think it's an extremely important issue, an extremely
8 timely issue, and I'm sorry I wasn't able to be here this
9 morning, I had a conflict, but from what I understand
10 from a number of you, the presentations were very
11 valuable, which actually brings me to a second thank you
12 and plea, basically. I think that the research that was
13 presented this morning, the research that was presented
14 at the Governor's Conference in December, both the one in
15 San Francisco and the one at Scripps, really highlight
16 how valuable the PIER Program, in particular, has been.
17 And Guido Franco, who has led the Climate Change part of
18 the PIER Program is here, modestly in the back, Guido,
19 wave your hand in case there's anyone in the room who
20 doesn't know you. It has been incredibly important, the
21 PIER Program, and the Energy Commission's work, more
22 generally, in continuing our understanding and furthering
23 our understanding of climate change impacts and
24 solutions. It's really important to remember that the
25 solutions are not going to be simple, they need to be

1 multi-disciplinary, they need to be cross-sector, there
2 are going to be trade-offs, and understanding all of the
3 interactions of not just the climate, but the solutions
4 and all the other changes in society requires a very
5 thoughtful approach to research. And I think that the
6 Energy Commission has provided that for years, and it is
7 very important that we find a way to continue it. And so
8 I hope that all of you will help us figure out where and
9 how to find the funding, whether it continues to be State
10 funding, or private foundations, companies, the Federal
11 Government and partners, this research is absolutely
12 critical to continue, and to continue in the multi-
13 disciplinary thoughtful way that the Energy Commission
14 has led it over the past couple of decades.

15 So as you heard this morning, the impacts of
16 climate change are here, and they're now, and they're
17 very serious. We're already facing many of the impacts
18 of decreasing snowpack in the Sierras, for instance, and
19 its impact on hydropower supplies, or on increased forest
20 fires, which are directly linked to how much snow there
21 is and when it melts. We're also facing increased energy
22 demand because of increased heatwaves and higher
23 temperatures, more generally. And there are a number of
24 other impacts of climate changes that we're already
25 experiencing in California, and we know those impacts are

1 only going to become more frequent and more severe over
2 time. That's the bad news. Hopefully we got most of
3 that out of the way this morning.

4 The good news is that everything we need to do
5 about climate change, including in the energy sector, but
6 more broadly, are things we should be doing anyway, they
7 make sense, they have a lot of other benefits. So
8 focusing on the energy sector, in particular, we know
9 that there are already impacts, there will be more
10 impacts to energy supply, as I mentioned, hydropower,
11 impacts of fire on transmission lines, impacts of sea
12 level rise and flooding on energy facilities, on power
13 plants, transmission lines, pipelines, as well. All
14 these impacts, there are solutions to these, same with
15 impacts on demand. We know that, with higher
16 temperatures and other extreme events, there will be more
17 demand, in general, and more disruption to both demand
18 and supply. But the things that we need to do about this
19 are all things that make sense anyway, they're things
20 that make our economy stronger, they make us more
21 efficient, they give us energy and water and food
22 security, they make us more economically competitive,
23 they create jobs. So many of the new jobs and businesses
24 in California are in the Smart Grid development, or
25 energy storage, or making power plants more efficient so

1 they can withstand heatwaves without a significant loss
2 of production. So these are all things that will benefit
3 California and they make sense to do. You're going to
4 hear more about them this afternoon, but I wanted to
5 highlight just a few because I think, while there is a
6 lot of very bad news that you heard this morning on
7 climate change, I think it's important to remember there
8 are a lot of exciting developments, as well, and a lot of
9 opportunities in climate change, and if we really focus
10 on those and how to further the Smart Grid, the energy
11 storage, the Distributed Generation, power plant siting
12 in safer locations, those will have so many benefits to
13 California that I think we can get excited about rolling
14 up our sleeves and moving forward on the solution side,
15 which is what the afternoon will focus on today.

16 So just a couple that I'll throw out there and,
17 again, you'll hear more about several of these this
18 afternoon. But in terms of protecting supply in
19 California, the Governor has set a very ambitious goal
20 for 12,000 megawatts of Distributed Generation. The
21 State also has a 33 percent renewable portfolio standard.
22 How do these help? They help by diversifying supply so
23 that we won't have a single nuclear power plant that,
24 when it shuts down, jeopardizes the entire Southern
25 California Grid, or so that, when we have an extreme

1 event in one location, we have diverse energy supplies in
2 other locations that can help offset disruption to the
3 power system. So Distributed Generation, in general, and
4 renewables, in particular, are going to be very important
5 to help us adapt to climate change, and I think you all
6 know all the other reasons to do them.

7 In addition, we can make our existing facilities
8 more efficient. There are technologies now, and the PIER
9 Program has helped to fund research on new technologies,
10 that keep the output of existing natural gas plants
11 steady, even during heatwaves and other extreme events.
12 The Energy Commission has also been a leader in promoting
13 the Smart Grid, and we're seeing the adoption and
14 implementation of technologies now that will allow us to
15 respond to extreme events and to climate changes much
16 more efficiently and protect the Grid, which is going to
17 be essential not just for energy supplies, but for
18 emergency response, and things like that. We need to
19 know that our energy infrastructure will keep working in
20 climate change, especially around extreme events.

21 In terms of new infrastructure, I think that the
22 Intergovernmental Panel on Climate Change said it best
23 when they said that the most important thing we can do
24 going forward is stop putting new development in areas
25 that are at high risk of climate changes, whether that's

1 high risk of fire, catastrophic fire, whether it's at
2 high risk of flooding, or of sea level rise, we need to
3 be very smart now about we develop in the future and
4 avoid, as much as possible, putting in new infrastructure
5 and, for all of you, we're talking about energy
6 infrastructure, in harm's way. We're going to face
7 enough impacts of climate change to existing
8 infrastructure and we certainly don't want to put more
9 things in harm's way when we're going to have fewer
10 resources to protect them.

11 One of the other things that we need to do, which
12 has multiple benefits to the energy sector, is develop
13 community-scale biomass in high fire risk areas of the
14 state. We know that many of the forested areas of
15 California have an abnormally high level of fuel load in
16 the forests; one of the ways to treat the forests and
17 address that fuel load is with small scale
18 environmentally sustainable biomass facilities. And
19 that's something that we're working on in a number of
20 areas now.

21 And finally on the demand side, one of the most
22 important things that we can do is reduce demand,
23 continue to push demand response measures, green our
24 buildings and our communities, everything from making our
25 buildings and our appliances and our plug load more

1 efficient, to literally greening -- trees and cool roofs
2 and cool pavements, cool vehicle services, even, all of
3 these bring down energy costs, they also help protect
4 health and safety during a heatwave.

5 And finally, we need to protect and restore
6 natural ecosystems because they provide our first line of
7 defense, whether it's against floods, or whether it's
8 against droughts, natural ecosystems, be it wetlands, or
9 riparian corridors, or wet meadows in the Sierras, they
10 are really at the core of our water supply, our air
11 quality, our ability to manage heatwaves and more. And
12 so protecting our natural environment is going to be
13 critical to protecting California against extreme events
14 in climate change.

15 Finally, as I said at the beginning, I just want
16 to underscore, much as there's a lot of doom and gloom
17 around climate change, there are a lot of benefits of
18 taking these steps, and I think the more we can focus on
19 creating jobs, making California more economically
20 competitive, building the businesses of the future, the
21 better off we'll all be. Thank you very much.

22 COMMISSIONER PETERMAN: Thank you. [Applause]
23 Thanks to the Resources Agency and Julia, in particular,
24 for her personal commitment and the attention she has
25 afforded to this topic, and continuing to remind us about

1 the importance of thinking about adaptation, as well as
2 the impact of climate change on the Grid. And thank you
3 also for your comments about the value of the PIER
4 research that we're seeing today and that has increased
5 our understanding of these issues. I was reminded during
6 the break that, even getting legislation such as AB 32
7 passed depended on having a good scientific basis and
8 understanding of the issues, much of which has come from
9 the researchers in this audience over the last few
10 decades, and so thank you for that. And we've already
11 identified today future issues, pressing issues that need
12 research and, so, we look forward to continuing to have
13 opportunities to fund that type of work.

14 MS. KOROSSEC: All right. Before we get started
15 on this afternoon's presentations, I just wanted to ask
16 the subsequent presenters if you can try to focus on the
17 main points of your presentation, try to keep it to 10
18 minutes so we can catch up on our time, I hate to jam
19 anybody up, but we want to make sure we leave enough time
20 for this afternoon's roundtable discussion, so 10 minutes
21 for speaking, five minutes for Q&A.

22 COMMISSIONER PTERMAN: And another housekeeping
23 matter, I'm going to suggest we skip the afternoon break
24 and people can feel free to get up in the middle of any
25 presentation and no one will be offended if they need to

1 step out.

2 MS. KOROSSEC: Great. That's a good idea, too.

3 Okay. Thank you. So with that, I will introduce our
4 next speaker. We have David Pierce from Scripps to talk
5 about adaptation.

6 DR. PIERCE: Thank you very much. I'm going to
7 talk about using seasonal to midterm climate forecasts.
8 And in this context, I'm talking about a few months to a
9 few decades. And we just heard how a lot of this
10 research has additional benefits besides climate change,
11 and I think using climate forecasts to run a more
12 efficient operation is an example of that.

13 So one of the main climate fluctuations that
14 affects us in California is El Niño. I'm not going to
15 spend much time on this since you probably know about it,
16 but the left panel here shows what El Niño looks like,
17 it's characterized by warm temperatures in the tropical
18 Pacific; on the other hand, its brethren, La Niña, is
19 characterized by cool temperatures in the tropical
20 Pacific. And the reason that this is important to
21 California and the energy industry is because El Niño
22 affects how much precipitation we get in California. And
23 besides the direct effect on water supplies, you probably
24 know that moving water around is a huge energy use in our
25 state. So because this is fairly familiar, I'm not going

1 to talk much about it, I'm just going to point out that
2 we already do an operational El Niño forecast at Scripps,
3 it's issued every month, this shows the scale of the
4 forecast, this is the tropical Pacific, and we get a
5 correlation between what we predict and what's actually
6 observed at a one-year time forecast of about .6. So
7 that has use for all sorts of different industries. I
8 get email from everything from professional divers to
9 mango groves, asking about the El Niño forecast. And if
10 you look at it at nine months ahead, it's about .7, so
11 this is one of my themes, that the climate forecasts have
12 this statistical approach, you know, you're not
13 guaranteed exactly what's going to happen, but you know
14 the changing probabilities of events.

15 Now, more relevant to energy is something called
16 the Pacific Decadal Oscillation; you may or may not have
17 heard of this, but it looks like this, when we have the
18 high phase of the PDO, we have warm temperatures in the
19 ocean off California, cold in the center of the North
20 Pacific, and in the low phase of the PDO, we have cold
21 ocean temperatures off our coast, and warm temperatures
22 in the Central Pacific. Now, I've plotted the time
23 series of the PDO
24 here on the bottom and you can see that it changes
25 rather slowly and gradually as compared to El Niño here,

1 see how that changes? About every two to five years we
2 get an El Niño. On the other hand, we get changes in the
3 PDO at maybe every five to 10 years. So that gives you a
4 little bit of predictability just because the thing is
5 persistent, it tends to hang out once it's gotten
6 established.

7 Now it turns out that PDO affects all sorts of
8 things in California, but one of them is heating degree
9 days. So what I'm showing here is the relationship
10 between the Pacific Decadal Oscillation, the PDO, and
11 when you have a positive PDO, that means it is warm
12 temperatures along the coast, these blue symbols indicate
13 you have less heating degree days, which is it is warmer.
14 So there's a strong correlation between the phase of that
15 PDO and what the energy use for heating is in winter.
16 Conversely, when there's a negative PDO, that means
17 there's cold water along our coast, you have positive
18 heating degree days. And this makes a fair bit of
19 difference, these are about 100 to 150 heating degree
20 days and about 70 when you've got a negative PDO, so that
21 makes a fair bit of difference. And that's predictable
22 to some extent just because of the persistence of the
23 PDO.

24 But since we're mostly talking here about
25 electricity, I actually want to talk about peak

1 electrical load, so this was a winter event I was showing
2 on this slide, because it's heating degree days, but now
3 I'm going to look at summer events and the peak
4 electrical load. What I'm showing here is the additional
5 load of the peak days of the year. So let's just look at
6 the first one, so for example, in 1998, the one peak day
7 of the year for the electrical system, consumed about 39
8 percent more electricity than the average summer day. So
9 that year was incredibly peaky, and that's very hard for
10 the energy system to accommodate itself to one day which
11 has 39 percent more demand than the average day, so
12 that's quite difficult. On the other hand, here at the
13 bottom is 1989, and you can see the peak day there was
14 only 18 percent more than the average day, so that was
15 easier to accommodate to. And there is quite a
16 divergence of years, you can see there's this whole zoo
17 here from very bad to normal to pretty good. So what
18 we'd like to do is try to understand what is driving that
19 diversity amongst the peak days of the year. So what I'm
20 going to do is just look at the one top peak day of the
21 year, you know, we could look at peak 10 days, or peak 20
22 days, but I'm going to be extreme here, just look at the
23 peak day of the year. So for each year, we've got a peak
24 associated with it, so that's basically a time series
25 because, for every year you have a value, which is how

1 much more energy the peak day used. So that's the peak
2 day time series plotted. Now I can just relate that to
3 ocean temperatures, and what you see is that this is the
4 PDO again. So the correlation between this peak day
5 usage, the one peak day of the year, and the previous
6 winter's ocean temperatures really brings out the Pacific
7 Decadal Oscillation. So that Pacific Decadal Oscillation
8 is affecting not only heating degree days in the winter,
9 but also the single peak days in the summer.

10 Now, you can use this information to make real
11 forecasts, and the reason I'm going to show this forecast
12 is to give you a sense for how these work in practice.
13 So this was worked on by some colleagues of mine at
14 Scripps using the spring time Pacific Decadal Oscillation
15 to predict summer temperatures, so this is like three or
16 four months ahead. And what they found was that the best
17 predicting signal in the ocean, here on the top right,
18 this is hopefully a somewhat familiar pattern by now,
19 that's the Pacific Decadal Oscillation pattern, I mean,
20 they didn't put that in, they found it from the analysis
21 that it drops right out. And here's how much
22 relationship there is between that predictive pattern of
23 temperatures in summer in California. Now, you see a
24 fringe of reds here along the coast, which means there
25 are good relationships between the PDO and electricity

1 use along the coast, which there's not as much in the
2 interior, but somewhat unfortunately, most of the people
3 in California live along the coast, so that's useful, we
4 can make use of this relationship. Let me show you an
5 example of how you would make use of it. And, again, the
6 reason I want to show this is to illustrate the kind of
7 information that these climate forecasts give, because
8 it's a little bit different sort of information than
9 people, I think, are typically used to thinking about.
10 And I picked it for San Jose here because people in San
11 Jose own air-conditioners, but they only turn them on if
12 it's really warm, so that's an area where temperatures
13 make a big difference to energy consumption. You have
14 other places like San Francisco they don't own as many
15 air-conditioners, so they just sweat right now if it's
16 hot. On the other hand, in Sacramento, here you guys turn
17 on your air-conditioners all the time, right? So it
18 doesn't really make much difference there, either. So
19 there's different areas of importance to the energy
20 system and San Jose is pretty important. So what I'm
21 showing here is the summer cooling degree days, that's
22 basically how much energy you need to cool your
23 facilities in the summer, and I've just split into three
24 categories Below Normal, Normal, and Above Normal. So
25 since there are three categories, if we didn't know

1 anything about it, we would just say there's a one-third
2 chance of being in each, 33 percent chance. On the other
3 hand, if we look at what's happening in the PDO in
4 springtime, that actually makes quite a bit of difference
5 to these probabilities. So, for example, if the PDO in
6 spring is above normal, you have a 59 percent chance of
7 having an above normal summer cooling degree day load, as
8 opposed to 33 percent. So it's not doubled, but a pretty
9 noticeable shift. On the other hand, if the PDO in
10 spring is above normal, you only have a 12 percent of
11 having a cool summer, a 12 percent chance of a cool
12 summer as opposed to a 33 percent chance if you just
13 ignore this. So it's making some difference here. But
14 the reason I wanted to show this is because all of this
15 is probabilistic information, so it requires the joining
16 of our climate information, our climate forecast, with
17 business practices that can make use of this
18 probabilistic information. And sometimes that's
19 possible, and sometimes it's not. And the climate
20 science obviously can't dictate that by itself, it
21 requires working with the energy companies to make use of
22 this probabilistic information.

23 Well, we had a lot of questions, actually, from
24 the Chair earlier today about can we say something over a
25 few years, say one to 10-year time scale. So the

1 international climate community realizes that's a time
2 scale of immense interest, so the whole international
3 modeling community joined up to do these experiments,
4 trying to dynamically predict the next 10 years, and I'm
5 just going to show one example of that. This data is
6 still coming out, I mean, if we look today, I did those a
7 couple of weeks ago, but if we looked today, there would
8 be more data, that's how recent some of this data is
9 coming out for the next IPCC.

10 But what you're looking at, this is just for one
11 of the 20-some models, a Japanese model called MIROC, and
12 what they've done is they've run the model once for a
13 simulation of temperatures, let's say this one is
14 starting in 1980, and this dark green line shows what the
15 simulation did. Then they perturbed the model a little
16 bit because we can't exactly observe the earth, so
17 there's always some little measurement errors. So if you
18 put those measurement errors in and run it again over and
19 over to say, does measurement error destroy your
20 predictability? That gives you that green envelope. And
21 what you find is that, in California, which is what I've
22 plotted here, just California, it seems like those
23 measurement errors destroy the predictability. There's
24 no predictability, it seems, on these multi-year time
25 scales because, you know, we can't observe the initial

1 state well enough and our physics doesn't support it.

2 Now, this is preliminary. We might find that
3 some other model does well in California, I think we're
4 going to look at that, or it could be other places in the
5 world do well, but I just wanted to be clear that, right
6 now, the evidence is we can't seem to be able to say
7 that, that's just what the physical situation is.

8 Well, heatwaves are a big interest in California,
9 rightfully so. Let me show you the history of heatwaves
10 here. What I've done is I've taken the average
11 temperature, summertime maximum temperature on the worst
12 day, worst three days of the year for the red curve, and
13 weighted it by California population since we're
14 interested in energy issues, so I've weighted it
15 according to this graph here. What you see is we've had
16 two events where the population weighted maximum daily
17 temperature over three days has been over 100 degrees
18 Fahrenheit. In 2006, \$5.4 billion in damages, about, you
19 know about that one, we also had one in 1955, there were
20 about a thousand deaths due to that heatwave back then.
21 So we've gotten a couple of these guys in 60 years. So
22 the question is, now looking at longer time scales, more
23 sort of planning and strategic purposes, how are these
24 heat waves likely to change? So I've repeated this
25 historic one here just for comparison, but I've shown the

1 results from five different models of the quite new
2 series of simulations for the upcoming IPCC Report, and
3 that black horizontal line in each case is 100 degrees
4 Fahrenheit, so you can see how the likelihood of getting
5 these bad heatwaves changes over time. And it varies by
6 model. One of our research interests is how can you
7 identify, if you can, how can you identify which of these
8 models is the most reliable? So that's one of our
9 interests. But you see, you start to get an increase in
10 these heatwaves. Certainly, by the end of the Century,
11 they are just commonplace, you know, we're going to have
12 those all the time by the end of the Century, but you
13 start seeing the transition between about 2020 to 2040,
14 you start seeing a notable increase in the frequency of
15 those bad 100 degree population average heatwaves, about
16 2020 to 2040, depending on the model.

17 Now, this is just a medium emission scenario. As
18 you know, we might emit more, we might emit less, too, to
19 be fair. But this is a high emissions scenario. You
20 probably have heard that we're actually tracking on the
21 high emission scenario right now. Anyway, by the time
22 you get to the end of the Century, you start getting 105
23 to 110 degree heat waves, as opposed to ones right now,
24 which are 100 degrees that have all these deaths and
25 losses. On the other hand, you don't see big separation

1 behavior of the average to high emissions scenario until
2 about the mid-Century. So we're not going to see a big
3 difference for some decades yet, which I think was
4 pointed out earlier as one of the problems with
5 formulating policy, because you don't see the effects for
6 some time yet.

7 One last thing I want to mention is you
8 frequently heard -- well, if you're on climate, you may
9 have often heard that, on average, we probably won't get
10 enormous shifts in the amount of precipitation we get in
11 the state, probably a little bit drier, but there's huge
12 year to year variability, which tends to mask that yearly
13 average figure. But what I've shown here in the left-
14 hand figure is the change in precipitation over the year.
15 And I'm showing it for Southern California Coast, but
16 it's similar for the rest of the state, and what you see
17 is that we get most of our precipitation in winter, then
18 it's very dry in the summer, and then we get it back
19 coming into winter again. And these green boxes here in
20 winter show that we'll probably get more precipitation in
21 winter, but the brown boxes show we'll probably get less
22 in the shorter seasons, in spring and autumn. So these
23 are combining so that it reduces the net annual effect.
24 So if you just look at the annual average, you might say,
25 "Oh, there's not that much change in California

1 precipitation." But to some degree, it's hiding these
2 seasonal changes. Now, that makes an important
3 difference to you if, you know, you're a farmer and
4 you're concerned about having water for your crops, say,
5 in spring, in other applications like that. So the
6 timing can change even if the overall average change is
7 muted.

8 So let me just sum up. We do do an operational
9 Niño/La Niña forecast about nine to 12 months lead time,
10 we issue that every month. The Pacific Decadal
11 Oscillation has quite an effect on us here in California,
12 it's important for energy use which is why I wanted to
13 emphasize it, it affects winter heating degree days and
14 the maximum daily temperature in summer during the
15 heatwaves, and we have some ability to predict that in a
16 statistical way, these shifting probabilities. What's
17 needed then is, you know, a business process that can
18 ingest those probabilities and make use of them. The
19 dynamical prediction of the PDO are planning on one to
20 10-year time scales is not encouraging right now, I just
21 have to say. Damaging heatwaves, you start to see the
22 real increase in those by about 2020 to 2040, depending
23 on the model. The emissions scenarios start to make a
24 difference after about 2070; if you go with the high
25 emission scenario, those damaging heatwaves can get up to

1 105 to 110, which is rather unpleasant to think about.

2 And changes in precipitation are actually rather complex
3 because there are a combination of changes over the year
4 and changes in intensity when the rainfall happens. So,
5 thanks for your time. [Applause]

6 COMMISSIONER PETERMAN: Thank you very much. I
7 found that very interesting. A question for you really
8 to the connection between the PDO and the cooling degree
9 days, or heating degree days. Something that struck me
10 in your presentation was just the reference to the Normal
11 vs. the Above Normal and Below Normal, and could you just
12 speak to exactly what is Normal and over what period do
13 you calculate that? And how you're seeing that change
14 over time, perhaps with climate change?

15 DR. PIERCE: Yeah, in this work we try to follow
16 the Energy industry, and what they do is take the last 30
17 years as Normal, so that's what we did, too. There's a
18 whole sort of research effort to say, how bad is that
19 approximation? Because we know we're actually on this
20 upward slope and, if you start talking about planning
21 horizons of 10 to 20 years, you know, it's not really
22 that great an approximation to just say "take the last 30
23 years." So you can do better than that, but I've tried
24 to mimic what people do.

25 COMMISSIONER PETERMAN: Thank you. Ready to move

1 on to the next speaker?

2 MS. KOROSSEC: All right. Our next speaker is
3 Kosta Georgakakos to talk about Improving the Management
4 of Large Hydropower Units in California.

5 DR. GEORGAKAKOS: Thank you very much. And I'd
6 like to thank the Energy Commission for inviting me.
7 It's a pleasure to be here. I come from the Hydrologic
8 Research Center, it's a nonprofit research and technology
9 transfer corporation, and I'm also adjunct with the
10 Scripps Institution of Oceanography. I'll try to
11 summarize work that several colleagues and myself have
12 done over the last decade or so in this area.

13 So the focus is the reservoir management in
14 Northern California and the climatic variability and
15 change. A system of reservoirs modulates the climatic
16 and weather variability in order to produce downstream
17 benefits, and these benefits are manifest in
18 hydroelectric power production, flood damage mitigation,
19 water conservation for municipal, industrial and
20 agricultural supply, ecosystem benefits, and others.
21 Reservoir effectiveness is substantially influenced by
22 three things, climatic variability and trends, demand
23 variability and trends, and changing water markets. And
24 the important target of reservoir management is to
25 maximize water use efficiency, this is for individual

1 uses, individual reservoirs, and is a system of
2 reservoirs, as well.

3 A little bit about current reservoir management.
4 Essentially, it is based on guide rules or operating
5 rules that have been defined from simulation runs using
6 historical data and statistics, and with a detailed
7 numerical description of the system. For instance, for
8 flood control and flood management, no precipitation
9 forecasts are used currently, only observed precipitation
10 is used, and in some of the reservoirs, the rule curves
11 are not even indexed by observed precipitation, they have
12 fixed rules. This is an example for the Oroville Rule
13 Curve that essentially demonstrates that some of our
14 reservoirs do have observed precipitation to index the
15 maximum allowable storage during the flood season.

16 Some of the elements of current reservoir
17 management, planning involves several stakeholders and
18 several objectives, as well as coordination among
19 reservoir sites. No two systems are the same and
20 generalization is difficult in reservoir management; the
21 devil is in the details because of the climate demands
22 and system structure.

23 Climate and weather predictions must be
24 translated to system decision variables to be useful for
25 management. So, for instance, as this example shows down

1 at the bottom there, drawn from the Cold Water Species
2 Fishery Management, climate and weather prediction in
3 terms of surface temperature, wind, and so on, has to be
4 translated somehow to a decision variable and, in this
5 case, water temperature.

6 So two issues to discuss in this presentation, 1)
7 is the Integrated Forecast and Reservoir Management
8 Project, it is the INFORM project for Northern
9 California, which is a prototype demonstration project,
10 this is not a study, studies were done from the '80s
11 through the '90s, this is actual demonstration, on the
12 ground, working with operational management and forecast
13 agencies. I will also discuss the Adaptive Reservoir
14 Management vs. current management through simulation
15 experiments funded by the Energy Commission.

16 So here is the INFORM region, these are some of
17 the large reservoirs that have been taken into
18 consideration in our studies and the demonstration
19 project. The vision is to improve reservoir management
20 in Northern California, using climate, hydrologic, and
21 decision science, and here is the challenge, these are
22 Northern California system deliveries for years 2006,
23 2007, and 2008, and you can see that, while in 2006 we
24 had about 5,810 acre feet, we almost had half of that in
25 2008. The sponsors and collaborators in this

1 demonstration study sponsors, California Energy
2 Commission, the then CalFED Bay Delta Authority, and the
3 National Oceanic and Atmospheric Administration, and in
4 addition to representatives from these organizations,
5 members of the Oversight Implementation Committee
6 involved include representatives from the California
7 Department of Water Resources, California Nevada River
8 Forecast Center, the Sacramento Area Flood Control
9 Agency, the U.S. Army Corps of Engineers, the Bureau of
10 Reclamation, the National Centers of Environmental
11 Prediction, NOAA, in Washington, and the developers, the
12 Hydrologic Research Center, and the Georgia Water
13 Resources Institute of George Tech.

14 The INFORM goals and objectives is to implement
15 an integrated forecast management system for the Northern
16 California Reservoirs using real time data and
17 operational forecast models. Aspects of the actual
18 system to be represented were selected in collaboration
19 with the agencies. So everybody agrees that these are
20 some of the components that will be implemented. Once
21 the system was implemented, then that was essentially
22 done in Phase 1 from 2002 to about 2005. Then we had the
23 demonstration phase which is the current phase that the
24 project is in, and that includes the performing tests
25 with actual data and with management input.

1 The objective is to demonstrate the utility of
2 climate and hydrologic forecasts for water resources
3 management in Northern California for several years. So
4 in the cartoon, you can see on the left there is the
5 actual system with operation rules, more or less fixed
6 using observed information, with real time input and
7 system characteristics, and on the right we have the
8 informed regional system which is a risk-based tradeoff
9 system, as I will describe in a minute. Both interact
10 with the decision maker.

11 The components of the INFORM system, there is a
12 forecast component, essentially, in real time taking the
13 information that comes from the International Weather
14 Service, the National Centers for Environmental
15 Prediction in the form of forecasts of weather, and
16 making adjustments to them to bring them down to the
17 scale that's relevant for the management of the reservoir
18 facilities, this is about a 10 kilometer resolution, and
19 then using distributed hydrologic models that include
20 snow and soil and channel flows to determine the inflows
21 to the reservoir facilities. This is done in interaction
22 with the National Weather Service, we align the INFORM
23 models to the operational models, so we're at all times
24 in sync in terms of what is predicted.

25 In addition to that forecast component, there is

1 a management component which includes decision models
2 which interact with reservoir managers, and after that we
3 have, once the managers develop and decide on the policy,
4 we have a release schedule, and then an assessment system
5 measures the water supply, flood control, hydropower, and
6 other benefits. You can see the lower right the
7 reservoirs represented into this system.

8 These are the forecast elements, very quickly, we
9 have three scales, the zero to 16 day, six hourly scale,
10 the zero to 35 day, six hourly scale resolution, and the
11 one to nine-month scale with monthly resolution, the last
12 one being probabilistic, the first one being dynamic in
13 terms of the downscaling down to the 10 kilometers, and
14 the in-between scale is based on an intermediate
15 complexity regional model developed. These generate
16 ensemble inflow forecasts for the decision model.
17 Important to note, the decision model has several scales;
18 unfortunately, in management of reservoirs, that involves
19 several objectives including energy and water
20 conservation, you can't just isolate one scale, you have
21 to work with all scales. And in this particular
22 situation, we have near real time decision support,
23 decision horizon of one day out, the resolution, mid,
24 short, decision support, six hourly with one month
25 decision horizon, and long range decision support, one to

1 two years, with weekly 10-day or monthly resolution. And
2 then we have a scenario and policy assessment. These
3 scales are coupled and I will not say much more than
4 that, but they do represent decision making across
5 scales, so one scale conditions would happen to other
6 scales in high resolutions.

7 This is an example of what the model does for
8 decision managers. This is an example of the lake levels
9 for the major reservoirs, given an ensemble forecast out
10 to nine months. What I'd like to show is the forecast
11 utility demonstration. We did this for the three years,
12 2006, 2007, and 2008, and we're continuing doing this,
13 but at least these results have been verified. And so we
14 had the actual system starting from a certain initial
15 storage, and we're specifying the final storage after the
16 season, what it ended up, and that's the light green
17 there. The INFORM started from the same initial storage
18 and ended up in the magenta color on the graph.

19 The information provided is important to managers
20 and this is one of the indices that are important for
21 conservation and water use. For 2006, a wet year, for
22 2008, a dry year, the differences were not that great.
23 What was great was the transition year between the wet
24 year to the dry year, and that's where this adaptive
25 management that INFORM offers -- improves. These, again,

1 results are on the ground, these are real time results.

2 Very quickly, we did do a sensitivity study, this
3 was the feasibility of using a complex system such as the
4 INFORM to look at the details of reservoir management,
5 including hydroelectric power production, flood control,
6 and other objectives. We used the NCAR, CCSM3 Climate
7 Model output because that's the one that had very high
8 resolution, and three-dimensional information for the
9 atmosphere, so that we could preserve the model dynamics
10 into smaller scales, as well as long scales. For this
11 kind of analysis, with this kind of detail in management,
12 you will need to do this rather than just statistical
13 downscaling because you're destroying the waves that the
14 model is generating. Of course, you need to do it with
15 several more models than that.

16 The results for this particular model, if you
17 look at the differences in February for the 50 years
18 ending the 21st-Century, and the 50 years at the end of
19 the 20th Century, as expected, you see increasing
20 temperatures in all cases, and as we heard several
21 speakers before, precipitation is not that clear, it's
22 pretty much the same throughout.

23 We did a side-to-side comparison between the
24 current policy and adaptive policy where the current
25 policy is more or less deterministic, the year is

1 classified by dry, wet, and a number of other categories.

2 In the adaptive policy, that's not the case, we look at
3 the entire spectrum of forecasts. And just focus on the
4 lower part of the graph, the results indicate that, while
5 for the current climate there are improvements that
6 adaptation can offer, particularly in the minimum water
7 supply, about 22 percent more -- minimum water supply
8 under current climate could be had by this analysis.

9 It's important to note the red bars that show that, for
10 instance, firm energy, the minimum guaranteed energy, is
11 going to be approximately 30 percent less for the case of
12 the current management compared to a detailed adaptive
13 management that I indicated. Average energy, too, has
14 the same problem.

15 So the conclusion is that the integrated forecast
16 and reservoir management demonstrates significant
17 capability for mitigating water resources impact of
18 climate and weather variability and uncertainty,
19 particularly for extremes such as I mentioned, firm
20 energy, there is also floods in this analysis.

21 One last thing I want to mention is institutional
22 issues for using INFORM in Northern California. The
23 management processes are legally institutionally vested
24 in traditional procedures and are change resistant. We
25 have, for instance, minimum cooperation among agencies in

1 terms of during normal or dry hydrologic periods, there
2 is better cooperation for flood management.
3 Unfortunately, coordination is not accompanied by
4 integrated adaptive tools that encompass the applicable
5 range of time scales, sectors, and prediction
6 uncertainty, in particular. And the unintended sequence
7 of all this is that it discourages the use of key
8 scientific advances, for instance, hydroclimatic
9 forecasting, multi-reservoir optimization and certain
10 characterization, and integrated water resources
11 management. We suggest that, as a response,
12 institutional and legal processes best concern themselves
13 with establishing the framework, the broad objectives and
14 criteria for shared water management, and not with laying
15 down policy specifics, much like the guide rule or the
16 operational rules that are currently specified. We think
17 that with agency coordination, the adaptive risk-based
18 INFORM approach may become institutional practice as a
19 real time screening and planning tool for identifying
20 beneficial use policies. And with that, I'll stop.
21 Thank you. [Applause]

22 COMMISSIONER PETERMAN: Thank you very much. I
23 didn't realize how much you could impact the productivity
24 of these reservoirs with basically technological
25 solutions, with software and forecasting, and I think

1 that was important to get on the record, and also it
2 would be useful, I think, for us to have a better idea of
3 how much these systems cost if we were going to deploy
4 them to other watersheds, as well.

5 DR. GEORGAKAKOS: Yeah, this particular
6 implementation of INFORM is done for essentially the
7 entire Northern California, the Sacramento system, and
8 it's been funded now over a period of a decade almost as
9 a demonstration project. The key point I want to make is
10 this is not a gadget, this is not just a tool that you
11 just apply somewhere, this is a designed and should be
12 used to interact both with forecasters in real time, but
13 also with reservoir managers. And these reservoir
14 managers might be one, or might be a consortium, it might
15 be several stakeholders. It provides risk-based
16 tradeoffs so, at a give risk level, we provide tradeoffs
17 among different uses of the water so a decision can be
18 made to improve water use efficiency.

19 COMMISSIONER PETERMAN: Thank you. I would
20 probably be easier to deploy if it was a gadget, but I do
21 agree that it is a good tool to have, you have really
22 highlighted the range of stakeholders that you need
23 engaged at any point in this decision making process and
24 that it is continual considering that I think it goes up
25 to nine months, so there's activity you would have to

1 engage in on a regular basis in order to effectively --

2 DR. GEORGAKAKOS: It is now online and with
3 secure net, all the agencies receive this information and
4 there is feedback.

5 COMMISSIONER PETERMAN: Great. Well, thank you
6 very much. Any other questions? One more question for
7 you.

8 COMMISSIONER SANDOVAL: Thank you. So I wanted
9 to know if you have looked the impact of residential
10 watering on watershed and tree health and how that fits
11 into this model?

12 DR. GEORGAKAKOS: Yeah. So the way this study
13 has been made is to follow the base demands that
14 essentially the Department of Water Resource specifies
15 for different uses, and so we haven't produced a
16 sensitivity study with respect to that aspect. And in
17 the climate sensitivity study, we haven't looked at that,
18 no.

19 COMMISSIONER SANDOVAL: Well, let me tell you why
20 I'm asking that question. So I've been designated as the
21 Water Commissioner for the California Public Utilities
22 Commission, and so, as you know, a couple of years ago
23 Governor Schwarzenegger signed a bill which the
24 Legislature passed to prohibit unmetered watering and
25 encouraged the transition to metered watering across the

1 state, including munis, and then also to target 20
2 percent reduction in water use, so Sacramento is one of
3 those places that's going through the transition from
4 unmetered to metered watering. I went to a public
5 participation hearing in Calipatria, which is south of
6 the Salton Sea, and so this was a place that had
7 unmetered water, okay, in my mind, clearly, while you had
8 unmetered water in the middle of the desert, but they had
9 unmetered water, and these people had English-style lawns
10 and trees which required daily watering, and so since
11 they've had to go to metered water, the lawns are all
12 gone and the trees are dying, which also has an effect on
13 passive cooling of the houses, and I've also wondered
14 about the effect of this, as well, on rain and water
15 production. So I know certainly large scale
16 deforestation will affect rain and water production, but
17 when we're looking at it as a small scale, then you do
18 think hydrologically is this something that we need to be
19 looking at? I know the area around Joshua Tree and
20 Barstow, which also Barstow had unmetered water, that
21 they're giving suggestions to people about here are low
22 water use trees that you should be using. So is it
23 important as we look at the transition to metered water
24 that we have to look at keeping up trees in these more,
25 you know, urbanized areas as part of protecting our water

1 cycle?

2 MR. GEORGAKAKOS: Yeah, I think it depends also
3 on the large scale climate and its interplay between,
4 say, infection and local processes and there are a few
5 studies that are done, but most of the successful studies
6 I know are for the center of the U.S. more than the
7 coast.

8 COMMISSIONER SANDOVAL: Well, so I'd like to
9 suggest, this would be a really terrific area for study,
10 you know, as we look at the transition where we're
11 encouraging people to use less water, what is the impact
12 of that on our urban forests, and how it affects, you
13 know, passive cooling energy use, etc., you know, so how
14 can we do it in a way that ultimately protects the
15 watershed and doesn't actually increase demand for
16 electricity. So, thank you.

17 DR. GEORGAKAKOS: Thank you.

18 MS. KOROSEC: All right. Our next speaker is
19 Paul Bunje from U.C.L.A. to talk about Adaptive Measures
20 for Homes, Buildings, and Cities.

21 DR. BUNJE: Thank you very much. Thanks to the
22 Energy Commission for holding this hearing and inviting
23 me here today. I think this is very exciting and very
24 important, and I have a lot to talk about in a sense, so
25 for those reasons, much like others, this is going to be

1 a bit of an overview. But there are sort of three points
2 that I want folks to leave with recognizing, number one
3 is in the title of this, most Californians live in homes,
4 we all go to buildings most of our day, and the vast
5 majority of us, well over 80 percent, live in cities,
6 live in urban conglomerations. So when we start to talk
7 about climate change, particularly as it relates to
8 energy issues, this is actually hitting home specifically
9 in our urbanized regions of the state, that's essentially
10 just what this is, and that means built-up elements,
11 homes in buildings of other sorts.

12 Secondly, and you've already heard quite a bit
13 about the fact that, over sort of planning time frames,
14 the next decade or so, it's very difficult to get decent
15 predictions that will allow us to make large scale
16 changes, so many of the adaptive measures that I'm going
17 to be talking about are going to be the primary responses
18 that people have, essentially on very local scales, and
19 that brings me to my third point, which is that, really,
20 these hyper local issues are many of the actual adaptive
21 responses we're going to have to be dealing with in
22 identifying a policy and planning framework within which
23 to integrate those individual actions, as well as local
24 government actions, into a statewide understanding for
25 the energy system, is going to be critical and something

1 that I feel we're not quite there yet, although we're
2 clearly much further ahead than any other state, so
3 that's' incredibly encouraging.

4 First I want to point out that, when we talk
5 about climate change, many of the worst impacts that
6 we're responding to are critical impacts to cities of
7 various sorts, including -- we've heard this many times
8 and I'll go over it a little bit more -- issues such as
9 heat, but also flooding, sea level rise, and storm surge
10 issues, since so many of our residents do live near the
11 coast, intense storms, and that includes not just
12 flooding events, but also windstorms, decreased water
13 resources, or flashiness of those water resources at
14 appropriate times, and then all of the sort of secondary
15 and tertiary impacts that come related to things like
16 wildfire, diseased vector distribution, and heat related
17 pollution impacts, and other sorts of public health
18 impacts you might see, and then, of course, the ocean
19 coastal changes that are in large respect a critical
20 nexus between what we're doing to our coastal resources,
21 themselves.

22 So I'll break this down just into homes and
23 buildings, which obviously there is a lot of overlap
24 there, and then talk a little bit more about cities. And
25 really what I want to do is just offer a sense of the

1 sort of grab bag, the smorgasbord of different
2 adaptation efforts that are underway, and one of the
3 things you'll note throughout this is that most of these
4 adaptation measures that happen at the sort of hyper
5 local scale are things that we're either doing already,
6 or already know how to do, they don't require necessarily
7 technological innovation, although they may in many
8 respects require different policy framework in order to
9 do them. Oh, I'm sorry, I said I'm glad, Commissioner
10 Sandoval, that I put up the water conservation one first
11 per your questions just now because this really is kind
12 of a critical issue, particularly when we want to think
13 about ways that we can reduce water use in order to save
14 energy associated with water treatment and conveyance, as
15 well as some of the efforts we might be utilizing that
16 water has to actually cool off some of our buildings, for
17 instance. And most of the efforts you can use to
18 actually conserve water are pretty straightforward.
19 Again, this is not new or rocket science, but low water
20 landscaping, moving beyond just metering to tiered water
21 pricing, and that includes both total use tiered water
22 pricing if you're going above a certain threshold, which
23 many jurisdictions of course have, but also starting to
24 implement things like dual metering technologies, so that
25 you can discriminate between indoor and outdoor use,

1 which is a big deal in many of our larger cities. And
2 then some of the other classic things -- putting out a
3 rain barrel, building out gray water systems and the
4 like. But then it should be noted, and the CEC ha
5 actually done some good work on this, that many of the
6 lowest hanging fruit are continued things like replacing
7 old leaky toilets and faucets, and the like, still have a
8 tremendous impact, as do, of course -- and I'll get to
9 this in a little bit later -- fixing the distribution
10 systems in our cities where pipes can result in well over
11 a quarter in many places of water loss.

12 I want to note really quickly that the current
13 water plan goals to reduce urban water use by 20 percent
14 by 2020 and that most folks, including Gail
15 (indiscernible) and Linda Davis there (indiscernible)
16 have noted that getting there will actually be able to
17 save us -- if we're getting to rates that are something
18 like what Australia is doing, which isn't outside of the
19 realm of possibilities, the point in a similar climate,
20 and then in a similar economic position, we could
21 potentially save a million and a half acre feet or so in
22 assumptive use by others. And then note again -- I'll
23 put in purple a couple of these times because this, I
24 think, is a critical place here. We often talk about the
25 ways that you can both adapt and mitigate greenhouse gas

1 emissions simultaneously, and there really are a lot of
2 opportunities for doing that. The water energy nexus is
3 probably the most obvious and most salient of all of
4 these.

5 Probably the chief concern in terms of immediate
6 impacts, largely because we have a greater grasp on
7 exactly how heat is going to impact our state, is
8 directly mitigating, or directly adapting to high heat,
9 and we've already heard repeatedly that the primary way
10 to do that is through air-conditioning, essentially
11 people will turn on their air-conditioners when it gets
12 hot, and we've already heard that repeatedly. Knowing
13 full well that things like 30 percent of peak load is due
14 to air-conditioning demand, and you've already heard --
15 so I don't need to repeat this -- that expected increases
16 are very likely, especially what you start to think about
17 the fact that our population growth is supposed to be
18 most intense in places like the San Joaquin Valley and
19 the Inland Empire, which have higher air-conditioning
20 demands already.

21 One important element to this, and I pointed out
22 that a lot of the responses that we're going to follow
23 are things that we already know how to do, is really some
24 very typically urban heat island mitigation efforts,
25 reducing daytime temperatures or peak temperatures inside

1 buildings can be done through mechanisms that will reduce
2 urban heat light and island effect, both on an urban-
3 wide, or citywide scale, but also even on individual
4 homes and buildings, for instance.

5 But there's also still a lot to do and this
6 includes improved housing design, there's increasing
7 efforts on both materials and other methods, but also new
8 technologies that can go beyond exactly what we're
9 building now. I do want to point out, though, that still
10 the most important element in reducing things like
11 cooling demand is improved insulation weatherization, we
12 will have more than half of our building stock generally
13 is pre-Title 24, so there's an area for actually retrofit
14 that can result in substantial thermal comfort issues
15 within homes, for instance. And then, of course, there's
16 these individual adaptive behaviors, and you're going to
17 start to see this, and this is going to pattern out and
18 there frankly hasn't been nearly enough work on this
19 because this will pattern out in unique ways across the
20 landscape based on demographics, economics, and the like.
21 Individuals will actually respond to things like high
22 heat by going outside, or changing their clothes, or
23 bathing, for instance, when it gets particularly hot, and
24 these are elements that shouldn't be overlooked,
25 particularly if you want to not simply respond by putting

1 in more air-conditioners.

2 There are other impacts that I just wanted to
3 highlight really quickly, including wildfire and ways we
4 might respond, the most simple of course is not to build
5 homes in fire prone areas, and we've already seen that
6 many of those can actually pattern right around -- in
7 terms of transmission lines -- they're right near many of
8 our dense urban areas. Other efforts that can be
9 mediated are improved emergency response so that you can
10 get cross-jurisdictional response to wildfires, and
11 particularly if you can predict it, and then the basics,
12 right? Clear your vegetation. I used to -- I lived up
13 in the mountains when I was a kid, and it seems silly
14 when you don't clear around your house, but we very often
15 don't do this, particularly in suburban areas that are at
16 risk of wildfire.

17 Health issues go beyond high heat, of course.
18 Diseased vector prevention is a critical one. Many
19 diseased vectors, particularly mosquitoes, may be seeing
20 their ranges expand. We heard how various species can
21 change in response to warming temperatures. I want to
22 point out that things like empty swimming pools are
23 actually a primary site of mosquito generation and, in
24 one study by Harrigan at all the West Nile Virus, the
25 single factor predicting the expansion of West Nile

1 Virus, which is up throughout Orange County now, and the
2 rest of what's south of there, were economic factors,
3 primarily things like foreclosed homes because they would
4 have empty swimming pools in the back. And so there are
5 things that you can actually do, knowing that the
6 temperature is changing, to respond to some of those
7 efforts, as well.

8 And then sea level rise, and I know everyone
9 here, you all have been fully briefed on these issues,
10 but outside of hardscaping and other coastal erosion
11 prevention methods, there is very literally a role to be
12 played for relocation, and I'll get to the critical
13 infrastructure element, but also even homes, in
14 particular. And I didn't put up the scary sites of homes
15 in Malibu or Half Moon Bay getting washed away, but I
16 think you can imagine what those start to look like.

17 Though things sort of continue on from there, and
18 I wanted to spend a little bit of time talking
19 specifically about cool roofs. And, again, this is very
20 typical efforts. Cool roofs have been investigated for a
21 long time, including by a former colleague, Art Rosenfeld
22 and his entire group and others at LBNL, this is clearly
23 also a method for adapting to higher temperatures in the
24 future, temperatures whether it be a result of climate
25 change, or the urban heat island effect, the adaptation

1 response can be quite the same. Cool roofs are most
2 effective in older buildings. Those with good insulation,
3 as it turns out, tend to see smaller improvements in
4 energy performance, and so when you're thinking about
5 retrofits, there's a role for thinking about how you
6 would retrofit a building, what steps to do, one after
7 the other, and you wouldn't necessarily put a white roof
8 on a brand new Leed certified building, which probably
9 has a white roof to begin with, but you might start to
10 look at some of those, especially pre-Title 24 buildings,
11 as an effective way of mitigating the inside temperature
12 and thus reducing things like energy demand for cooling.

13 I also wanted to point out that cool roofs aren't
14 necessarily a way to reduce global temperatures directly,
15 we know that the urban heat island effect can contribute
16 a fair amount of heating, Jacobson and Ten Hoeve's recent
17 study looked at two to four percent, although they
18 acknowledge that those numbers themselves are very very
19 uncertain. We do know, and you all have been briefed
20 before on the Urban Heat Island effect, but that does
21 have an effect on global temperatures, however, it
22 doesn't appear that straightforward things like cool
23 roofs or white pavements are likely to have any effect on
24 reducing those temperatures, but because they can
25 actually be a mitigation strategy by reducing cooling

1 demand by getting rid of some elements of the Urban Heat
2 Island effect, you can reduce power generated by fossil
3 fuels and thus, sort of indirectly, get at a mitigation
4 strategy. Numbers, again, are difficult to put on any of
5 this, but it's critical to remember that many of the ways
6 we're adapting, again, can be strategies to reduce our
7 energy consumption and thus greenhouse gas emissions, as
8 well. Just some examples for those of you who haven't
9 seen them, most cool roofs are straightforward, high
10 reflective, high Albedo surfaces, but of course can be
11 combined with things like rooftop solar, or even green
12 roofs, which have themselves an evaporative cooling
13 phenomena, as well, and there's lots of different
14 mechanisms you can do this.

15 One of the things I pointed out in an earlier
16 slide, and one of the reasons it's hard to be
17 proscriptive about this, is that these are highly
18 dependent on their location, what the exact climate
19 happens to be there, as well as the purpose, of course,
20 of those buildings, and the building characteristics
21 themselves. And so, as Michael McCormick pointed out,
22 when we get down to the sort of local government scale,
23 but even smaller to the building scale, this is where the
24 rubber meets the road, and it's very difficult at a sort
25 of statewide scale to say this is the best strategy to go

1 forward, but identifying a mechanism in which you can
2 create policies that allow buildings, for instance, to
3 have the most efficient response to things like thermal
4 heat stress in a unique way is going to be important, so
5 setting up a much more flexible strategy is going to be
6 critical moving forward.

7 Then there's lots of other cooling methods that
8 we can use for buildings, as well, including directly
9 managing things like building heat from air conditioners,
10 at least -- and on modern buildings with some of the most
11 advanced HVAC systems, this is pretty effective, so that
12 you're not essentially off-gassing heat into the
13 atmosphere nearby, which sometimes flows back into the
14 building; optimizing building materials, again, newer
15 buildings, this isn't nearly as big a problem, although
16 there are still gains to be made; geothermal heat pumps,
17 which have been used most successfully in cold weather
18 climates where you can use the heat underground as a
19 storage regulator, are also plausible for cooling off
20 buildings, as well. If you go beneath about a foot deep
21 in most parts of California, then you have temperatures
22 that on average stay below 60 degrees Fahrenheit, you're
23 able to actually use that as potential heat sink. Again,
24 the performance here is highly dependent on the local
25 climate, ground temperature, seasonal demand and, of

1 course, getting these things actually built, especially
2 in cities that already have all of their infrastructure
3 there, can be a real challenge. But then there's also
4 other building mechanisms -- passive structural cooling,
5 including things like ventilation shafts where not only
6 can you reduce energy savings, but often times
7 ventilation shafts have proven to have much higher rates
8 of occupant satisfaction, they improve building comfort,
9 and simultaneously reduce energy consumption, and this
10 has been demonstrated in many many climates around the
11 world, including here in California. Passive solar
12 cooling, and obviously the work of the Energy Commission
13 through its Building Standards has been one of the
14 leaders on this, of course, though I would argue that
15 there's still some room for Building Code changes that we
16 can advance forward, including things like expanding the
17 thermal tolerance range, right? So building comfort
18 issue is a problem with this, most people don't like to
19 be too hot or too cold, but if you're able to actually
20 expand the building standard at which occupants are
21 allowed to stay, then you can respond, in particular to
22 some of those variations that we'll see in temperature
23 more effectively, and probably there are a host of
24 buildings that will -- you can stave off for a couple of
25 years the need to put in new air-conditioning and other

1 results.

2 To your question about trees, in particular, we
3 know in particular that trees can reduce locally
4 experienced temperatures and the Urban Heat Island effect
5 through both evapotranspiration and shading.
6 Evapotranspiration does consume water, of course, but it
7 does provide a significant local cooling effect. This,
8 again, is highly dependent on the exact location where
9 you are, and the tree species, and the amount of cooling
10 that you have, so it's incredibly difficult to model with
11 and predict what the relationship between water savings
12 might be vs. the actual cooling effect that you have
13 there, and whether it's effective in all cases.
14 Certainly, there are some places that it is not. But
15 energy consumption can be reduced in buildings by
16 reducing air-conditioning, especially through shade,
17 which doesn't always have to be directly through high
18 evapotranspiration of trees, they can be through low
19 water use trees, for instance. And if done wisely, i.e.,
20 put the tree to the west of the building so that it's
21 cooling off the building -- so that it's shading the
22 building during peak demand, the height of the building,
23 local climate, type of tree, all of these sorts of things
24 will directly affect both the energy savings you have and
25 the cooling role that they might play.

1 And then buildings, in particular commercial
2 industrial buildings, we've already seen these as a place
3 where new water technologies can actually roll out quite
4 rapidly, there's lots of rain water harvesting, gray
5 water systems are very effective, especially in
6 industrial systems, recycled water -- I put an image
7 there that we've all seen lots of these gray buildings
8 where you recycle the water and create both cooling
9 ponds, as well as sort of nice aesthetic features of the
10 area, as well. And I do point out that this could be an
11 even more successful strategy for commercial and
12 industrial water uses, in particular, because of the
13 regulatory burden, in some respects you get more bang for
14 the buck because you've got bigger buildings and such
15 that you can control, in particular some of the recycled
16 water systems that you're utilizing.

17 Real quickly, going one step up the chain to
18 cities, cool centers are going to be a critical element
19 of our response to adaptation in the future, in
20 particular, in particularly high areas where you have
21 dense agglomerations of residents in multi-family
22 residence, and the like, it's critical to have central
23 locations with air-conditioning that local residents can
24 use. This is one of the first steps that any public
25 health department will look at when thinking about

1 climate change adaptation, especially as it relates to
2 heat stress and the types of deaths that you might see in
3 other heat related illnesses you might see on high heat
4 days. They can be located in many different places,
5 senior centers, community centers, and such, but thinking
6 about these as cool centers, as well, provides another
7 requirement for their reliability, as well as their
8 actual structural requirements, and they need to be
9 located in specific areas to vulnerable populations, so
10 this needs to be discussed and identified with public
11 health departments and others and, of course, need to be
12 accompanied by things like transportation plans for at-
13 risk individuals. So not only do we need the Energy
14 Commission and utilities to be able to actually keep
15 these things cool, they need to be in the right places,
16 and they need to be accessible, and they need to be tied
17 to things like evacuation and warning plans in these
18 cities. So in these cities, we're starting to talk about
19 a heavy integration of the energy system broadly with the
20 suite of other agencies and purposes that are being run
21 in cities.

22 Critical infrastructure, and I won't read through
23 all the critical infrastructure elements, but they go far
24 beyond just the electricity system to include things like
25 wastewater, sewage, ports, airports, hospitals, etc. etc.

1 All of these are in different parts of the state,
2 potentially at risk from things like sea level rise,
3 where we need to start thinking about resilient
4 infrastructure design, other things like relocation
5 through policies that could include all the way up to
6 things like rolling easements and other types of managed
7 retreat, and then direct relocation of those critical
8 infrastructure elements when feasible, not always
9 feasible, of course, but if you're able to go to air-
10 cooled power plants, for instance, then that may reduce
11 their requirement on being near the coast, for instance.

12 Flooding is going to be a hypercritical issue in
13 many many cities, of course, in the state, from
14 Sacramento all the way down to San Diego. So expanding
15 our flood zones and improving flood maps is a first step
16 in this, these tend to be quite old and tend not to
17 filter down to the local government scale very
18 effectively, but that needs to be integrated with
19 improved flood channel design and land use policies, as
20 well, which I won't go into it here, but there are some
21 critical elements to the energy system, as well there.

22 Wildfire, we've heard a lot about this, including
23 with respect to transmission lines, but of course, as
24 well, fire impacts in the Grid, cost of wildfire
25 associated with our suburban communities, in particular,

1 we need to start thinking about some of these buffer
2 zones in the context of those buildings and homes,
3 themselves. And then heat itself, again, I'll just refer
4 you to the sort of Urban Heat Island literature here
5 because, again, heat and critical infrastructure elements
6 are a big part of that.

7 One piece, though, I want to pull out is
8 transportation infrastructure since there is a lot of
9 work in California, in particular from Caltrans, as well
10 as some of the larger transportation planning agencies
11 such as Metro and MTC and others, to think about how
12 their infrastructure is going to be impacted, including
13 things like road surface changes, to be lighter
14 pavements, this is something that I know Caltrans has
15 started to look at, how can you actually change some of
16 the paving standards to address this, but they also need
17 to be integrated with other impacts like flooding, like
18 groundwater re-infiltration for places that are
19 interested in that, etc. etc. etc.

20 Critical transportation routes need to be
21 addressed. Just like transmission routes of electricity,
22 we also need to be thinking about where roads are
23 accessible. Rail tracks and overhead electric lines,
24 these frankly are affected in the same ways that large
25 scale distribution are affected. Substations and local

1 transformers are affected in the same way that large
2 scale transformers are, and we need to be thinking about
3 how managers of those local things, utilities at those
4 local scales, are going to be able to respond to it. And
5 then I won't go too much into bridges, of course. Those
6 are just a couple of pictures how heat can actually warp
7 rail lines, for instance, extreme heat. And so one
8 thing, looking at that is critical. The same thing can
9 happen, of course, to overhead electrical lines
10 associated with rail lines. And then roads and damage
11 from floods, for instance, there.

12 I mentioned emergency response. Very briefly, we
13 want to point out the one good example from a specific
14 type of storm, the San Gabriel Valley windstorm just last
15 December, where you saw almost half a million Edison
16 customers, alone, affected, and more than half a million
17 customers total were affected when you add in Pasadena
18 Water and Power, in particular. Three hundred poles were
19 replaced, 100 circuits repaired, this is the type of
20 local scale within a city impact that you're likely to
21 see with greater frequency of storms. This, of course,
22 is just one particular wind storm in the Santa Ana event,
23 but other types of storms including rainstorms are also
24 likely, leading to lots and lots of damage, and power
25 outage. Power outage here is critical not just for the

1 fact that customers like it, but it's the central
2 requirement for emergency response, maintaining access to
3 power is maintaining emergency response so that crews can
4 get in and assist affected residents, can get critical
5 infrastructure like gas stations back online, and the
6 like, etc. etc. This is a good example where you
7 actually had lots of collaboration between different
8 utilities. I know Anaheim, for instance, turned on their
9 extra power and sent that up to Pasadena in order to
10 maintain lights longer than they would have been, and it
11 kept the Call Center, the 911 Call Centers open for an
12 additional 12 hours, or something like that. So this is
13 thinking about resiliency of the power system in order to
14 help out the other elements that are critically -- that are
15 going to be impacted by climate change.

16 And then Community Outreach Protocol, because of
17 things like emergency response hinging on having access
18 to power, we need to be thinking about these outreach
19 protocols and how that interacts with our maintenance and
20 management of the broader power system, itself, if we
21 experience extreme heat events, flooding and storm
22 events, or wildfires -- when, I should say, when we
23 experience these at greater frequency.

24 I'll sort of gloss over this because I know I'm
25 running a bit out of time. The Water Resources, again,

1 within cities you're not just building transmission lines
2 and gas stations, you're not just dealing with the
3 energy, in other words, there's all these other issues
4 that need to be built out as a part of the
5 infrastructure, and of course these local governments are
6 thinking about how to do things like reduce their
7 reliance on Sierra Nevada water resources, or Bay Delta
8 Water Resources, and increase things like surface
9 storage, so that you can overcome some of these extended
10 drought periods that we might see, or extended summer
11 droughts that we're likely to see in the future. Of
12 course, this is highly tied to flood management in many
13 places, Sacramento, Southern California, and the like,
14 flood management and water resources are tied at the hip.
15 So there's an increasing emphasis on conjunctive use,
16 which is extremely valuable, and I would suggest there is
17 a critical role that, because of the water energy nexus,
18 there's a critical role for the Energy Commission to play
19 in thinking about conjunctive use plans for the future,
20 as well as supporting groundwater resource utilization
21 and, in particular, in places where there's a high --
22 which is most of our urban population -- most of the
23 population in the state, of course, is dependent on
24 imported water of some sort or another. So greater
25 reliance on groundwater resource, including infiltration,

1 recycled water and such, recharging with recycled water
2 is critical.

3 And then I want to point out that one of the best
4 ways to do this in an urban environment, since we're
5 talking about homes and buildings, is land use planning.
6 It's not necessarily entirely about transportation
7 planning itself, or Grid and energy planning itself, but
8 explicitly about land use planning. We've already heard
9 about the fact that the impacts of heat are differential
10 across the landscape, so thinking about where it is that
11 growth happens and exactly what type of growth that is.
12 Is it low density residential? Is it high density, but
13 highly paved, highly absorbent materials that are
14 occurring, etc., are critical. And as this gets built
15 out, you know, in the context of climate change
16 adaptation, these local governments are going to be
17 thinking not just about the energy that's required for
18 this, but it needs to be -- they are considering first
19 and foremost things like public health, public safety,
20 emergency response, and how their different communities
21 are going to be responding to this, including those in
22 high risk areas, in flood plains, for instance, or in
23 urban land, and interfaces might be subject to higher
24 rates of wildfire. So as a result, we're going to need
25 specific land use efforts that deal with this. We've

1 thought about this to some degree, as I said, in the
2 context of sea level rise where you can do some managed
3 retreat, or the thought is we can do some, but it may be
4 that with respect to increasing risks associated with
5 things like wildfire and interior heat events, we might
6 want to start thinking about how to respond, what kind of
7 policy responses might be appropriate in a land use
8 context for mitigating those issues, as well -- where we
9 build and what it looks like when we build them.

10 This, I pulled this out because it's sort of an
11 old saw by now that you want to do adaptation things, you
12 know, you want to adapt and mitigate at the same time,
13 let's find the ones to do it. Very often, that's really
14 not possible, reducing greenhouse gases, it's just
15 reducing greenhouse gases. Very often, adaptation is
16 just adaptation, but this is a -- I pulled this out of
17 the Draft Climate Adaptation Policy Guide that the
18 Department of Resources has out right now. There is a
19 tremendous amount of overlap on this side, which is
20 precisely where I know the Energy Commission has been
21 thinking for quite some time, but it goes far beyond
22 things like the water energy nexus, or simply thinking
23 about hydroelectric resources, there's a whole suite of
24 different efforts that are good for adaptation planning
25 that will in theory, if we do it intelligently, and you

1 can see them here, will result in greenhouse gas
2 emissions reductions. And Julia Levin pointed out a
3 number of the ways that I know that the State is already
4 thinking about these. This is sort of the first place to
5 start in a sense, let's get more bang for the buck.

6 I'll ignore this, maybe I'll leave this for the
7 panel discussion afterwards because, as I put this
8 together, adaptation at the local scale is highly
9 variable, it's highly dependent on what individuals,
10 including building owners, companies, and local
11 government decision makers are doing, and so it's very
12 difficult frankly to come up with proscriptive
13 assessments of what effective adaptation strategies are
14 for the State of California. As a result, I think it's
15 extremely valuable to have things like the Climate
16 Adaptation Strategy that I mentioned, but further
17 elucidation is really warranted in really thinking about
18 how we do this moving forward in a framework that
19 evaluates things like GHG benefits and adaptive strategy,
20 without knowing what's going to happen, but allows us to
21 be respectful of evolving science and the uncertainty
22 that is present in this, is going to be really really
23 important, really really critical. And I put at the very
24 bottom sort of leading to that, and Kosta sort of hinted
25 at something like this, it's really valuable to recognize

1 that we're going to be dealing with these changes
2 essentially forever, and it's not enough to know what's
3 going to happen at the end of the Century and think we
4 can plan for some sort of identified future. You've
5 heard repeatedly that that's not the case. So what we
6 really do need are an integrated set of climate services
7 of various sorts that allow us to do both real time,
8 short time, and long term monitoring, forecasting,
9 decision support that integrates the science with the
10 decision makers in a structured way. California through
11 leadership like your own is at the forefront of this, but
12 we're still a long ways from where we need to be.

13 A few folks to thank for this, but I thank you
14 all for your time.

15 COMMISSIONER PETERMAN: Thank you. [Applause] I
16 mean, you covered such an array of topics, I think we
17 could have had a whole day on that set, frankly. So I'll
18 just -- I found it very informative and I'll just offer a
19 comment, particularly in terms of talking about the
20 transportation concerns, I think it's useful to bring up
21 especially as we're transitioning to more electrified
22 transportation sector, and particularly in the
23 transportation space, this is an area where we are
24 currently planning the fueling infrastructure, so the
25 Energy Commission through the 118 program has provided

1 millions in funding for electric charger infrastructure,
2 hydrogen fueling stations, E85, and we have this
3 opportunity now, since we haven't put the bulk of them in
4 yet, to think about this consideration in advance, and it
5 would seem like that would be a less expensive way to
6 approach it than to have to do the adaptation after the
7 fact, and so considering the points you've raised,
8 thinking about the infrastructure we're investing in now,
9 how to do it more smartly. So I appreciated that
10 context.

11 DR. BUNJE: Of course. And I think, with respect
12 to that, obviously things like population are driving,
13 and demand are going to drive EV infrastructure, but
14 thinking about it as you say an integrated way is going
15 to be important.

16 COMMISSIONER PETERMAN: Are there any questions
17 from the dais? Commissioner Sandoval.

18 COMMISSIONER SANDOVAL: Yeah, thank you. I
19 certainly found the integration here between water and
20 energy to be very insightful. So with regard to water
21 use, when you're talking about, of course, various tools
22 and the tiers, you know, traditionally the tiers have
23 distinguished between the indoor water use and outdoor
24 water use, and what's interesting, one of the things I
25 found is that most of the tiers are set at assuming two

1 people in an apartment with no outdoor water use, which
2 in many communities is not at all reflective of the
3 average household. And this tends to push everybody up
4 into the higher tier. But also, it seems like it's
5 almost an assumption that outdoor water use is bad, but
6 yet when we talk about trees and passive cooling and heat
7 islands, there are good uses for outdoor watering and
8 trees, and tree house, so this is an area that I'm very
9 interested in learning more about as we try to figure
10 out, well, what is a wise water policy? What outdoor use
11 should we be encouraging? And what is discouraging? So
12 if you have any resources that you could give us on that,
13 you know, you've done a good job of really emphasizing
14 the nexus between water and energy, and we usually talk
15 about that with the movement of water, but this is
16 another example of that.

17 DR. BUNJE: And you highlight essentially the
18 critical issue here, which is that we don't really know
19 enough, frankly. And you're absolutely right, the tiered
20 pricing is based upon this assumption that you can know
21 based on the amount of water used whether or not it's
22 indoor or outdoor. But that's frankly a fairly dumb
23 approach to it, as it were, right? So we're moving to
24 smart meters and a smart grid in the electricity sector,
25 there's clearly a role for that to be played in the water

1 sector, as well. And you're absolutely right that -- I
2 like to think one of the things we forget with respect to
3 climate changes, what we're really entering into is an
4 era of hard choices, and we'll need to have -- a wise
5 water policy is one that recognizes that there may be
6 some value associated with utilizing something like water
7 for tree growth, for instance, because it reduces the
8 building's demand for air-conditioning. But we don't
9 have enough data to even know where that sort of tradeoff
10 lies yet. It's clear that we're going to have to make
11 those hard choices at some point. At some point, one
12 side is going to get more than the other. But we don't
13 know yet, and I would argue that that's really one of the
14 places that we're at. One place I'd point you to as an
15 example of this, I put up here Stephanie Pincetl, a
16 colleague of mine, but led by another colleague, Terri
17 Hogue, have been doing a study in DWP territory, in
18 Department of Water and Power territory, looking at two
19 things, 1) they looked at urban greenness associated with
20 water use, and find that essentially urban greenness
21 doesn't change, so how green the entire city is hasn't
22 changed regardless of how much water is being applied for
23 the whole city. And so, in some respects, at a total
24 sum, we're probably watering too much, but that doesn't
25 mean that any individual home is, or that doesn't mean

1 that any individual part of town, for instance, might be
2 as well. But that's one of the first studies that I know
3 of to actually start to look at, at least at a water
4 utility scale, whether or not there is too much water
5 being applied outdoors or not, sort of an open question.

6 COMMISSIONER SANDOVAL: Thank you. And then,
7 also, when we talk about the Edison windstorm, one of the
8 things that's important to note is that those were
9 hurricane force winds, so it wasn't just your standard
10 Santa Ana winds. I grew up in Los Angeles, and those
11 were hurricane force winds. So one of the questions at
12 Edison the IOUs are facing is, do we have to plan for
13 hurricane force winds now? Was this just a one-off? You
14 know, that's a really hard thing to plan for and, as we
15 look at changing winds, you know, I remember my step kids
16 saw a tornado here in Sacramento a few years ago, they
17 form once in a great while, you know, are you seeing
18 anything in the models of increasing hurricane force
19 winds or tornados in California?

20 DR. BUNJE: Yeah, you've heard this a number of
21 times, but modeling wind is extremely difficult.

22 COMMISSIONER SANDOVAL: Yeah.

23 DR. BUNJE: And it's very difficult to say, as
24 you heard, even Santa Ana's -- some models indicate that
25 you're going to see a reduction in the frequency and

1 intensity of Santa Ana events, but that's highly
2 uncertain at this point. I think -- this gets to really
3 some of the points for planning purposes, we're used to
4 planning for something that we know, assuming that the
5 world is somehow stationary -- if you've heard it once
6 today, you've heard it a thousand times, we're planning
7 for an uncertain future, and so we need to start thinking
8 about the possibility of some of these things coming
9 true, as opposed to knowing -- as opposed to a
10 traditional risk infrastructure where you think you know
11 how frequently a one and one hundred year flood event or
12 hurricane-like event is going to happen. We can start to
13 put better bounds on that, of course, and that's where
14 the climate science comes in, but frankly, the policy
15 framework and planning methodologies need to catch up
16 with this sort of adaptive approach that a number of
17 people have been advocating for.

18 COMMISSIONER SANDOVAL: Well, then looking at
19 kind of where are the risks, we haven't fully counted for
20 because I know I asked Edison, the day before the
21 windstorm, there were actually good climate predictions
22 of almost a statewide windstorm, and PG&E said -- they
23 announced they were getting crews out, they were
24 proactively doing tree trimming, and I asked Edison, did
25 you proactively trim? And they said, well, they didn't,

1 and if they had proactively trimmed, they would have gone
2 to Fontana, which was very far away from the epicenter,
3 they would have gone to the places that had traditionally
4 been a wind pattern, and that was part of the reason this
5 happened is that this area was not a traditional big wind
6 pattern, so the cities involved hadn't really been tree
7 trimming, the utility hadn't aggressively trimmed trees
8 on private property, in part because we assume that the
9 future is going to be like the past.

10 DR. BUNJE: Right. That's the lesson.

11 COMMISSIONER SANDOVAL: Great, thank you.

12 DR. BUNJE: Thank you. All right, thanks.

13 MS. KOROSEC: All right. Our final speaker
14 before our roundtable is Dan Kammen from U.C. Berkeley to
15 talk about Potential Evolution of California's Energy
16 System.

17 DR. KAMMEN: Well, I'd like to thank you all for
18 the chance to speak, as well, and to recognize that I am
19 the speaker between you and the ultimate event for the
20 day, so I will try to keep in the 10 minutes. You know,
21 it's very interesting going last in this regard -- am I
22 on? -- it's very interesting being last in a sense, but
23 painful to one degree, but sobering because all the
24 models I saw across different areas, across water, across
25 biodiversity, across energy planning, buildings, all had

1 an incredibly similar message in them in terms of the
2 need to use models and to use scenarios to think about
3 where we're going, but not to be too wedded to them
4 because they're useful as guides, but they don't get you
5 to the precise touch. The human element is really
6 critical here, and I think that, if I were to
7 characterize just a couple of the lessons, it's very true
8 in the work we're doing, clear in the work I've heard, as
9 well today, it's that we're going to need an increasingly
10 information transparent way to compare results across all
11 of these different issues, and it's really critical to
12 have quick feedback. And it will come up in what I'm
13 talking about, but I heard and was taking furious notes
14 during a whole number of these sessions, so I'd like to
15 both thank the Commission, thank the PUC, thank Laurie
16 ten Hope, Guido Franco, and Joe Hagan for enabling the
17 work that we're doing. And really, what my main finding,
18 if you will, is not a specific result up here, but it's
19 finding the forums to make sure that we learn from the
20 results. I mean, even though I know Max Auffhammer
21 really well, I was jotting down in detail some of the
22 curves of his frightening climate penalty graph, if you
23 will, because they feed in so close to what we're doing.
24 Same thing is true for the water scarcity, same is true
25 for those high degree days. As someone who just spent a

1 year battling these stories in D.C., it's both a blessing
2 and a curse that we have this many high quality
3 assessment efforts going on, it both means that we're
4 ahead of the curve in terms of doing these things, but it
5 also means that the challenge to pull these pieces
6 together so we actually utilize all these information is
7 pretty great. And so if I were to summarize everything
8 that we're doing in our team, in kind of one piece, it's
9 that we're quite good at thinking about the mean -- or
10 the medium responses, we're very bad at figuring out how
11 we integrate in the extremes of all these features. In
12 the energy piece, it's largely a battle that everyone
13 gets taught in their undergraduate or graduate versions
14 of this, and that is our costs are largely defined by
15 meeting our peak and our extremes, and the revenues or
16 the services in a given area are defined by the mean, and
17 that spread is getting bigger in every single one of the
18 cases we talked about here. And so, again, I'll try to
19 illustrate these and I mainly look forward to the
20 dialogue around this.

21 The main features that have proven useful in our
22 conversation around energy planning are that I'm lucky
23 enough to both manage a renewable energy laboratory, but
24 also a transportation laboratory, and we look in some
25 detail at the interactions back and forth, and I'd like

1 to think about the ways that we can share the data from
2 these systems much more broadly. The beginning point for
3 my comments are that the paper I'm going to describe is a
4 resource that's available on *The Rail*, the Renewable
5 Energy website, it's a model called SWITCH, and there's a
6 paper out on the counter that was published earlier this
7 year, in fact, my team is currently on a phone call with
8 NREL comparing our model and their model of the Western
9 Grid System. So, again, lots and lots of details I won't
10 be able to get into, but I'll try to highlight the big
11 ticket items.

12 Probably the biggest one, and again it's obvious
13 to everyone who is involved in the modeling efforts here,
14 but it's hard to keep in mind in the day to day decisions
15 around individual rate and other issues, is that the 2030
16 and 2050 scenarios are critically linked together and we
17 have goals for 2020, 2030, not quite yet 2040, but 2050,
18 and getting to one, certainly in the energy sector,
19 requires planning and operational choices now that will
20 impact how much we can get to one vs. the other, and I'll
21 echo some of the comments we heard about distributed
22 renewables, the planning around transmission and
23 distribution, in particular. But, again, the biggest
24 part of the story isn't the details of any scenario, it's
25 finding ways to make our results as transparent as

1 possible, and so my biggest test is for anyone who goes
2 through our paper and website in detail, again, on the
3 website is not only the paper, but a tome of a operator's
4 manual for our model called SWITCH, all of the datasets
5 are available there, is how to make that most useful and
6 how to interact so that we run scenarios most useful for
7 the other sectors. I think we have a pretty good feel
8 for what the operational ranges are in terms of costs
9 within the energy sector, but the linked issues around
10 the multiple uses of water and land and how buildings can
11 be utilized, that's actually much harder to build inside
12 the models; it's easier to talk about in hearings, but
13 it's hard to make operational. So I'll try to come back
14 to that a couple times as we go through this.

15 I won't highlight the background story except
16 that California has once again, in the last year and a
17 half, been the lead in presenting a whole set of
18 different models of how the energy sector is both the
19 driver and is driven by land use, population and, in this
20 case, climate change. And we'll come back to those in a
21 number of ways as we go forward.

22 Our model is designed to allow us to think about
23 how to manage costs, how to integrate renewables, how to
24 integrate intermittent sources and, in particular, what
25 is going to be the role of different low carbon

1 technologies. All of this is based on the assumptions
2 that we put in because you don't learn much from models
3 that you don't plan into them, except that they can
4 humble you for how unforgiving the system can be, given
5 the targets we're after, and so looking at how to get
6 there is really critical in the process. And, again,
7 this 2020, 2030, 2040, 2050 set of planning decisions are
8 linked in some ways that I think, at least I hope, will
9 be surprising in kind of a challenging way as we go.

10 This is the team that I'd like to thank for the
11 work going on here and, again, the funders and supporters
12 at the PUC and the CEC. Again, I'm not going to talk
13 about the details of the model, it's a mixed energy
14 program model, we have lots of investment periods,
15 there's lots of really critical details. I'm not
16 skipping over it because I don't think they are
17 critically important, it's that I think they're better in
18 kind of the more detailed one-on-one. But what we assume
19 in terms of prices for different technologies, in terms
20 of availability and deliverability times, if one wants to
21 build out large amounts of a specific solar technology,
22 storage technologies, they critically matter and I hope
23 that our contact information is available in here to go
24 into detail. Any question you have, I'm happy to talk
25 about, but there's such a mass of it when you get into

1 the models in detail, it's really pretty critical.

2 What we do in this particular modeling scenario,
3 this modeling framework, is somewhat different than what
4 the NREL team in Colorado does. We have a least cost
5 optimization function that we run forward in time, we're
6 running scenarios through 2030 and 2050 as we speak. We
7 meet demand with supply every hour, all the way to 2030
8 and 2050, so it's somewhat of a data nightmare in terms
9 of the amount of information involved, but those datasets
10 are increasingly available today.

11 A number of sort of features of the system that
12 are important is that, in our modeling framework we
13 maintain a 15 percent reserve margin for every single
14 hour, and if you look in the paper, and the graphs will
15 show in a second, I've shown both a peak day and an
16 average day for each month, and so what looks like kind
17 of a seesaw curve of results is actually showing within
18 each month of the year that peak and that average day,
19 just stitched together to make it geographically and sort
20 of physically viewable. In this modeling scenario, we
21 make investment decisions around generation assets and
22 transmission distribution assets every four years, we run
23 on a 10-year cycle for the 2050 cases, but I'll focus on
24 the 2030 results for now. And that's that there is a
25 four-year process time to make those decisions. Build-

1 out times are much longer, and so, in particular for
2 transmission and for nuclear, it takes quite a bit
3 longer, there's lots of modeling details. Again, I'm
4 going to try to just highlight -- go through the story.

5 We build all existing well known technologies, we
6 do not build, of course, coal or nuclear in California
7 today. We build not only all of the conventional
8 renewable and thermal generation technologies with that
9 constraint, but we do different storage technologies, we
10 pump hydro, all of the features involved in our system
11 are engaged in the model result. If I jump to kind of a
12 generic result, just to highlight the features of the
13 story, what we find in looking forward, and so what you
14 see here is kind of a generation mix graph on the bottom,
15 going from a carbon price adder of zero up to \$100 a ton
16 of CO₂ and, looking across the west it shouldn't be any
17 surprise to anyone, is that as the price of carbon rises,
18 the amount of coal in the system basically decreases
19 linearly, and that's filled in with gas at the lower to
20 middle price ranges, and the more of the renewables, in
21 particular solar and wind at higher prices -- I'll
22 highlight the nuclear story a little bit at the end --
23 but just to put things in kind of a numeric context, if
24 the whole world looked like us, which sometimes they wish
25 we thought it did more accurately than it does, but as a

1 sort of key line in the sand, if the world operated as if
2 we were aiming for a 450 ppm scenario, we find that the
3 WECC region broadly, not just California, but WECC
4 overall, would meet that in an optimal investment picture
5 by 2030, so arguably some decades early, with a CO₂ cost
6 of \$70.00 a ton. And that number sounds very reasonable
7 to some and it sounds like science fiction to people
8 outside of California, but I'll come back to that in a
9 little bit. But it's really instructive to have that
10 kind of benchmark for how much is required to get to
11 various targets, and that's a marginal cost of CO₂ in the
12 sense that that's added on to the fuel prices for the
13 thermal sources. The picture that was shown by Laurie at
14 the very beginning highlights kind of one of our WECC-
15 wide maps of the region. Of no surprise, lots of hydro
16 from the Pacific Northwest, wind in the mountain states,
17 lots of solar thermal, and some wind in the southwestern
18 California, red being geothermal, purple being nuclear,
19 and the transmission flows are also pretty critical in
20 the story. And this is one of the real basic places
21 where the planning decisions around 2030 and those for
22 mid-Century are critically linked because which of the
23 scenarios you envision will dramatically depend on is
24 that capacity there to bring those supplies online. And
25 so, at a not an apologetically busy graph is six

1 different scenarios, all of which get one to that 450 ppm
2 case I described. Again, 450 in 2030. But what's
3 different about them are a couple key features. So there
4 is a base case which is the generic current technology
5 costs with their annual learning rates, we use the Black
6 and Veatch data to do this work, cases with low cost
7 nuclear as a figure of merit, that's \$4.00 a watt. Our
8 base case is \$5.00 a watt. And arguably, the cost of
9 nuclear is \$6.00 or \$7.00, or more, depending on your
10 math and, again, we can't build any in California in the
11 current scenarios, but we have low and high gas prices,
12 and then we have cases where the cost of PV is high, and
13 the cases where the cost of PV comes down basically in
14 the lines with the DOE Sun Shot scenario, which is a
15 \$1.00 a watt by 2020, that's actually a case that we are
16 now exploring in quite a bit of detail, largely because
17 the mix of solar thermal vs. PV that one would build out
18 based on costs, water constraints, land constraints, is
19 an area of a great deal of interest right now.

20 I highlight these range of cases not for their
21 details, but because the key feature is that we find
22 quite a diversity of scenarios, all of which get to
23 California's climate targets, but they envision
24 incredibly different plans around the infrastructure.
25 And this is not even an exhaustive list, this is not like

1 we ran thousands of Monte Carlo scenarios and pulled out
2 those few that got there. It's -- I don't want to say
3 "easy" because none of this is easy -- but there's lots
4 and lots of realistic technology scenarios that get us to
5 our climate targets. And when I say "realistic" what I
6 mean is realistic in terms of the amount of time to build
7 the generation resources, amount of time even with the
8 often slow process to build the necessary transmission to
9 get that power to the markets, but diverse -- different
10 scenarios get there. And just let me highlight the range
11 of that.

12 It shouldn't be any surprise that a case where
13 nuclear is low cost and is built widely in the west, but
14 not in California, results in a scenario that meets these
15 goals with 50 percent as much transmission as a case
16 where we're doing a lot of solar, so from 6,000 gigawatt
17 kilometers to 12, full factor of two in terms of amount
18 of transmission, both scenarios get there, but it
19 dramatically changes one vs. the other if you say we're
20 going to have an incredibly hard time building some of
21 the longest transmission, whether it's high efficiency AC
22 or DC lines, etc.

23 What makes the story, I would say, even more
24 interesting is that, while there is a range of carbon
25 prices, in this case from a low of about \$59.00 if one

1 builds a lot of nuclear at low cost, which I'm -- I'll
2 reserve personal judgment on how realistic that is -- to
3 high costs in the high \$80.00 range per ton of CO₂ in some
4 of the cases where gas is cheap and on the cheapness
5 trajectory that many are claiming now, meaning you've got
6 to get to very high carbon prices to get around the fact
7 that gas ends up blocking, as opposed to enabling, a lot
8 of the renewables cases. But the place of power is
9 remarkably constant, meaning these are really choices in
10 planning and infrastructure and which of the policy tools
11 we're going to push hardest on, not we only have a very
12 few opportunities and avenues to get to those cases.
13 This is really a pretty critical part of the story
14 because it says that the diversity of modeling efforts
15 that you've heard today highlight interactions we're
16 going to have to make. And so as one example of the
17 process, we utilize in our scenarios hydro resources with
18 the water for agriculture and for reserves held constant,
19 but we utilize the rest of the water for hydro. Sitting
20 down in detail, and talking to Josh and some of the hydro
21 people, that may or may not be in kind of the sweet spot
22 of the water scenarios that we want to do for other
23 reasons, and those were highlighted in some of the
24 questions before. So optimizing in one of these models
25 won't get us there, and it's got to be this dialogue, and

1 I know that's obvious, but making that dialogue
2 transparent and operational is really the part where
3 hearings like this are going to need to happen at a very
4 regular basis to make sure that we run scenarios that are
5 seen as most realistic by all of the players here, and
6 that's really very difficult.

7 One other aspect of the story that we've spent a
8 huge amount of time on is, in fact, the story around gas.
9 And when we look in detail at the build rates of solar,
10 the investment costs in solar to get there, it's not at
11 all off the charts in terms of the ramp-up of the
12 industry that we would need to get to, we're worried
13 about where some of the Federal incentives are going to
14 be after 2016, but those cases are critically dependent
15 on building out enough new resources so that we can
16 utilize gas to enable the low carbon technologies not to
17 block it. And when I highlight that, I'll just show a
18 picture here of a 2030 dispatch scenario that the colors
19 are designed to be fairly intuitive, light blue is wind
20 at the top, the demand curve here is the gray and, again,
21 don't be sort of worried by the little double notches
22 you're seeing a peak day and an average day within each
23 month. But if we look at a picture like this, this is
24 kind of how a typically plotting, thinking about how much
25 of the renewables, in particular, solar you might need,

1 but if I plot it in a way that looks more familiar to
2 some of my friends who actually operate power plants,
3 what they see for the gas is incredible demands in terms
4 of ramp rates for gas plants. Those gas plants that are
5 running more or less base load than those that are
6 effectively running no longer in the old style form as
7 "peakers," but really firming up renewables across the
8 whole region.

9 What this means for emissions during those ramp
10 rates is actually very significant and we'll be working
11 on some detailed scenarios there as we go ahead, but it
12 also means incredibly different air quality concerns as
13 we try to, again, use gas not to block, but to enable the
14 renewables. And if I were to highlight one with the in-
15 sector issue, it's really that solar thermal, PV, wind,
16 gas tradeoff, that we're going to need not only a lot of
17 modeling efforts, but also working closely with
18 utilities, the regulators, to figure out which of those
19 scenarios is most realistic in terms of moving this
20 ahead. The hearing that was chaired by the CEC on April
21 12th around the benefits or the co-benefits of
22 renewables, I would add that working through the full
23 range of economic and social benefits, I've been calling
24 it the benefactors of the renewables, against what Max
25 highlighted in the beginning as the climate adder in our

1 costs. We're not going to be able to square this
2 equation if we don't work through in real detail where we
3 see those climate costs, and where we find the benefits,
4 whether it's in terms of reduced transmission loads,
5 whether it's in terms of economic opportunities for large
6 and small businesses and homeowners, and again that gets
7 us straight back to the PUC and some of the policy
8 choices around moving well beyond, but including RPSs,
9 but also looking at what are the full benefits of that
10 metering, what are the opportunities, not only within
11 California, but within the region to look at feed-in
12 tariffs. Again, carbon price is in some sense a
13 surrogate for those, but we're going to have to look at
14 the overall set of those features in some detail to see
15 where we're going to get to.

16 So if I was to conclude not with the broader set
17 of questions, but the ones that I would expect to be sort
18 of pushed on back within our modeling piece, it is again
19 how we're going to deal with the price of natural gas. I
20 returned 48 hours ago from the Clean Energy Ministerial
21 in London, where the CEO of Duke Energy said that there's
22 three things in life that are inevitable, death, taxes
23 and volatility in gas prices, to which he was hissed at
24 by a whole number of people from the gas industry. But
25 if you look at the record, no matter how rosy the low gas

1 prices seem to gas proponents today, the history -- and
2 we heard people arguing about where the history puts us
3 -- is that something is sure to come up and make that
4 story more complex and, hence, more volatile, one of
5 which is going to be that, if we're really going to
6 achieve California's climate goals, and I'll say this one
7 twice, it's so important, is that we're going to
8 eventually have to start distinguishing based on carbon
9 content different flavors of gas, and this is not just
10 the Alberta tar sands oil sands story, it's lots and lots
11 of other forms of gas coming on line. That's a level of
12 lifecycle analysis that analysts with an industry and
13 think tanks are working on hard, but is not generally
14 part of the equation so far. And having not only natural
15 gas supply curves, but natural gas carbon intensity and
16 water intensity curves, is going to be part of our
17 currency going forward. And, again, that's a pretty big
18 step for a number of players in this field.

19 What is not only the ability to meet some of the
20 low cost solar scenarios like the DOE's Sun Shot
21 scenario, but also what is the ability to ramp up the
22 production of these technologies in terms of the
23 gigawatts that we're going to need in our region, and the
24 demands for them elsewhere in the world? And that's
25 really, can we deploy some of the low carbon technologies

1 at cost in this timeframe?

2 Concluding on one bit of good news, though, is
3 that for all of the analysis I've been highlighting here
4 with these different scenarios, not only do we find that
5 the costs of power don't vary much between them, but it's
6 actually a relatively small price adder to meet our
7 goals, and that's before we put in many of these co-
8 benefits into the renewables equation. So we find these
9 are deployable and they're workable at scale. The trick,
10 though, is that what our model and what the NREL model
11 agree on in detail is that, if you don't have the ability
12 to plan around new generation and new transmission
13 simultaneously in a co-evolved way, you don't get there
14 with reasonable cost. And that throws the story in many
15 ways back to regulators and the clever policy tools to
16 set up this equation because we have to have that ability
17 to plan around and to deploy new generation, new
18 transmission, and a lot of the efficiency programs that
19 make all of this equation work. So I've tried to hit on
20 the high notes only, I'd be delighted to talk in detail
21 about the scenarios as we go forward, both today and over
22 time. And thanks very much for the chance to present.

23 COMMISSIONER PETERMAN: Thank you. [Applause]
24 Thank you, Dr. Kammen, for that overview of the SWITCH
25 model. I know there's a lot in that model, as well, and

1 I appreciate you focusing on some of the more relevant
2 elements for today. I guess one takeaway I have from
3 your presentation, as well as looking at your slides, is
4 that although the model accounts for a lot, it doesn't
5 fully account for this energy penalty, this climate
6 change penalty, that Dr. Auffhammer brought up, and this
7 is an area in which we can push our models because it
8 seems like the expectation around hydro power really is
9 the assumption that we will still have supplies that we
10 do currently, right?

11 DR. KAMMEN: Yeah, that's absolutely right. And
12 so, thinking about which metric -- so I go back to Dan
13 Cayan's talk in the beginning in some sense -- which of
14 the metrics we're going to apply into the energy sector
15 for the multiple uses of water and for the availability,
16 and for the degree to which we, for example, want to
17 trade off investments in technological storage options
18 vs. hydro, is one of the places where we find a real need
19 in the model. So, as an example, in a model like this
20 that tries to minimize costs going forward, the model
21 almost never wants to build storage because, as it looks
22 ahead at demand, we would almost always rather build and
23 then under-utilize or dump renewable capacity for
24 anticipated future costs. That's what a model will do,
25 that's not what real life does. So we can either make

1 our model dumber in the short term, or we can overlay it
2 with constraints like a million solar roofs, or the five
3 percent and then two and a half percent discussions
4 around storage, because we anticipate we're going to need
5 those later on, and models that are tractable can get
6 there, and so that's one of the key features.

7 And one last point that you can highlight here,
8 as well, is that when I mentioned that the prices in our
9 model aren't that much higher than the business as usual
10 costs, that actually assumes that the carbon price, which
11 is non-trivial as you see here, gets reinvested in the
12 power sector. The more we start to pull out of it for
13 very legitimate social and political goals, is going to
14 change those prices. And so we pay a different premium
15 to meet these environmental targets if we use the money
16 in very justifiable ways to meet other social and
17 political needs. So we really do need to keep running
18 these and looking at the results from other models to
19 figure out what mix works for California.

20 COMMISSIONER PETERMAN: Thank you. I think
21 that's a good point as we're approaching a period where
22 we'll have cap-and-trade revenues, and these will be
23 timely questions. So I think, with that, we're going to
24 turn to the all anticipated panel. As everyone comes up
25 to take a seat, I've only got one public comment card

1 now, and so I would use my Commissioner prerogative to
2 see if that person, Louis Blumberg, wants to make his
3 comment now. That way, he'll make sure everyone is still
4 here to hear it. Louis, are you here? Okay, well, if
5 you come back the mic will be yours. Okay. So, yeah?
6 Come to your seats if you're on this panel. If anyone
7 else would like to make a public comment immediately now,
8 or after the -- oh, sir, please come to the mic. We will
9 have public comment period afterwards, and our format is
10 you fill out a blue card which are available on the front
11 desk, but it seems we only have one at this moment, so
12 we'll take it.

13 MR. MAHONE: Okay, well, thank you very much. My
14 name is Douglas Mahone. I'm with the Heschong Mahone
15 group, an energy efficiency consultancy here in the
16 Sacramento area. And I've been working for over 30 years
17 on energy codes, efficiency programs, and most recently
18 on the Zero Net Energy Roadmap Project. So after
19 listening to this all day, I think we haven't really
20 addressed the elephant in the room, which is the energy
21 use of buildings. Most of the presenters today and most
22 of the modeling assumed that buildings were just the
23 load, and the whole system is there to meet the load, but
24 buildings account for something on the order of 70
25 percent of the electricity use, and buildings drive the

1 peak, and it was pointed out that population growth is
2 going to be a big part of the problem, but that
3 population growth is all going to translate into more use
4 by buildings. So buildings really are a big part of the
5 problem. They're also a big part of the solution, as Art
6 Rosenfeld was fond of pointing out. We introduced Energy
7 Codes in the late '70s and they have helped to flatten
8 the load growth in California. There are a lot of energy
9 efficiency programs in place that are being used to
10 overcome obstacles towards making those buildings more
11 energy efficient. The PUC and the Energy Commission have
12 adopted a strategic plan, which is largely focused on
13 improving buildings.

14 So of all the things that we've been talking
15 about, sea level rise, and wildfires, and everything
16 else, buildings are the one aspect that we can actually
17 manage and change. And I know both agencies here, the
18 Energy Commission and the PUC, are involved with trying
19 to improve buildings, the Energy Commission through
20 energy codes and, to a lesser extent, through their PIER
21 Program, the PUC through all their energy efficiency
22 programs. So collectively you're engaged in trying to
23 transform the building industry which is the biggest
24 industry that we have, and also unfortunately the most
25 fragmented. But I'd like to hear a little more

1 discussion from our assembled experts about what they
2 think they can be doing with all this research to improve
3 the energy use of buildings, to reduce the energy use of
4 buildings, and I'd also be interested in hearing from the
5 agencies. I think there's a mindset that buildings are
6 just, you know, all those things out there that we do
7 things to try to make them better. But in reality, both
8 agencies are really part of the building industry, they
9 don't act like that, they don't talk to the building
10 industry, but I think that's a big part of the solution.
11 Thank you.

12 COMMISSIONER PETERMAN: Thank you very much for
13 your comments, and I think you're right, buildings are a
14 space that we can do a lot of work in. I'll say one of
15 the challenges is, you already can tell, we've got too
16 much already for one day of workshop, and so really the
17 focus of this one is on the impact of climate change on
18 those factors that produce energy, but acknowledging
19 that, especially with our loading order, the extent we
20 can reduce energy consumption, that's going to be
21 probably the number one adaptation strategy, and don't
22 want to not acknowledge that, and so if the panel wishes
23 to touch on that, please do, but also there are other
24 forums and other workshops we'll have specifically
25 dealing with energy efficiency that will delve more into

1 that topic.

2 I just wanted to give Louis Blumberg a second to
3 give his -- well, more than a second, technically you
4 have three minutes -- to give your public comment while
5 we have the benefit of the panel. Thank you.

6 MR. BLUMBERG: All right, thank you. Good
7 afternoon --

8 COMMISSIONER PETERMAN: Welcome.

9 MR. BLUMBERG: -- Commissioners Peterman and
10 Weisenmiller. And I'm Louis Blumberg, I'm the Director
11 of the California Climate Change Program for the Nature
12 Conservancy. I want to thank you for convening this
13 workshop. You are asking a very important question, how
14 will climate change affect our energy systems? Well, how
15 do we know that climate change poses a threat? Because
16 of the important research already completed and funded
17 through the California Energy Commission, through the
18 Public Interest Energy Research Program. So I have three
19 quick points that I'm going to make today and I'm
20 submitting written testimony, as well.

21 As we've heard repeatedly today, that everything
22 is connected here, that the PIER Research Program on
23 Climate Change and the impacts on our natural environment
24 has provided information that is critical to the state by
25 addressing issues that relate to the demand, the supply,

1 the transmission, and the reliability of power, as well
2 as cost containment and general welfare and well being
3 for ratepayers. And so we are not supportive of the
4 narrow focus that the research program has taken
5 recently, nor do we think the focus right now from the
6 Public Utilities Commission is sufficiently broad to
7 address the scope, the actual question that you are
8 asking -- how does climate change affect energy? Because
9 it does affect our natural resources. And so, in my
10 written testimony, I have many examples of how prior
11 research has addressed this. And we heard, for example,
12 that the research on salmon is often held up as some as
13 ridiculed, as too far afield, but we heard already this
14 morning how research on Salmon is connected to hydropower
15 and the potential licensing and relicensing under FERC.

16 The second point is that today power plants
17 contribute about 25 percent of the greenhouse gas
18 emissions in California, and the energy sector as a whole
19 produces almost 85 percent of the state's greenhouse gas
20 emissions. So I would posit that understanding the
21 impacts to our natural resources and communities from our
22 energy use is a responsibility for the state, and so
23 we've been pleased that the Energy Commission has done
24 this in the past through PIER, and we urge that it
25 continue. And as Deputy Secretary Levin pointed out, and

1 others, the Governor pointed out in December, and the
2 research is showing, that climate change will increase
3 the frequency and severity of extreme weather events like
4 storms, floods, wildfires, and coastal inundation. So
5 clearly more research on the impacts of our energy use on
6 the climate and on natural resources will be needed to
7 provide reliable and affordable power to California
8 ratepayers.

9 The third point and closing point is, yet, with
10 this demonstrated need for more research, we are quite
11 concerned that, with the expiration of the public goods
12 charge, that the state's capacity to continue to conduct
13 this research could very well be reduced. And frankly,
14 this makes no sense at this time that California would
15 take a major step backwards in our ability to understand
16 the impacts of our energy use when we're trying to do
17 more to respond to those impacts. So we've heard today
18 that there's no option to ignore this, that we have some
19 of the world's best science, that California has been a
20 leader in this.

21 So we would urge you to do all in your power, be
22 it through the IEPR, perhaps, or some other mechanisms,
23 not just to retain, but to enhance the state's climate
24 research program with a component that includes a focus
25 on the natural environment. Thank you.

1 COMMISSIONER PETERMAN: Thank you. Thank you for
2 your comments and your attention to this area, and I wish
3 wildflowers were a side effect of climate change, but
4 perhaps I say that now, now that I found out they're
5 invasive species, and then, so, be careful what you wish
6 for. So as we move forward with this panel, I'm going to
7 recommend that we shoot for 45 minutes, although I will
8 sit here for as long as you want to talk. But at that
9 point, I might take a break and ask -- not take a break,
10 but ask if anyone has anymore public comment so that we
11 make sure to allow opportunities for that, and if you
12 have a flight or a next engagement, our apologies for
13 being delayed, and please leave when you need to. So,
14 with that, I'll turn it over to the Moderator, and thank
15 you all for being here.

16 MS. MOSER: Thank you so much, Commissioners, for
17 that introduction and that overview. We have 45 minutes
18 for a long anticipated conversation, and so let me just
19 quickly introduce myself and then give a couple of words
20 of overview of what we want to do here, and then get
21 right to it. So my name is Susanne Moser, I'm an
22 Independent Researcher for many years contributing to the
23 PIER Program and, you know, am not an expert in energy or
24 electricity issues, in particular, but I'm quite an
25 expert in the relationship between science and practice

1 -- policy and practice. And so I'm very delighted here
2 to have a conversation now, an opportunity to hear from
3 the utilities, from the people who keep the lights on, to
4 talk directly to the experts that gave us all this
5 information this morning.

6 And so what I would hope that we do is that we
7 hear a lot from you all, and then maybe get some
8 responses, and I'll call on you. We have Michael Hanemann
9 here, a freshly minted member of the National Academy of
10 Sciences, I can't help saying that, Dan Cayan, the man
11 who is behind all climate projections in the state, and
12 then, as you just heard, from Dan Cayman, one of the best
13 experts on renewable energies.

14 So, with that little introduction, what I would
15 just say we do to start out is a round of responses from
16 you all in the utility sector, that basically is a
17 stocktaking of reactions you had to what you heard so far
18 this morning. And I would just say, you know, click on
19 the little button, introduce yourself, who you're with,
20 and maybe just two minutes each and we'll go around, and
21 then we'll go from there. So if I just turn to you on my
22 right, I'll give you the first word.

23 MS. WINN: Hi. I'm Valerie Winn with PG&E. And
24 I was just -- I guess one of the first things that comes
25 to mind based on Susanne's question is, there's just a

1 lot of research that's being undertaken across the state
2 that can provide a lot of very meaningful information to
3 the challenges that face us. You know, and PG&E has --
4 we have a pretty robust planning process and, as we go
5 through these planning processes every few years, we're
6 able to incorporate the most up to date science that is
7 available, so information on what's going on as far as
8 demand forecasts and how they're influenced by higher
9 minimum temperatures, what we know about windstorms or
10 heat storms, and how do we incorporate that experience
11 into our planning process. All the research that you're
12 doing will be very helpful to move that discussion along.

13 COMMISSIONER PETERMAN: And, I'm sorry, Manny,
14 just one question that came to mind, something that the
15 utilities could touch on at some point, is I'm aware that
16 you do your own funding, as well, of energy research
17 outside of the PIER Program, state funding, and if you
18 could just speak to what extent your research is starting
19 to address some of these climate change impacts to the
20 electricity sector, that would be terrific.

21 MS. WINN: Okay, well, for PG&E right now, we do
22 not have a separately funded energy research program. We
23 did recently file an application with the CPUC to do a
24 joint research project, I think, with several of the
25 other investor-owned utilities and with Lawrence

1 Livermore Labs, to look at really three areas of research
2 that we think would be really critical to planning going
3 forward, and those areas of research were cyber security,
4 also operations research, and then some infrastructure
5 planning, as well. And so part of that research project,
6 we just have so much more data available now to help us
7 better understand our systems and the planning than we
8 used to, but we're not really able to process all of that
9 data. I think I was reading something that said, you
10 know, we've got 20 million customers, and we used to have
11 12 data points about their energy usage a year; now we've
12 got 20 million customers and about 30,000 data points per
13 year, and so how can we actually manage all of that data
14 in a way that's meaningful to inform the research
15 process.

16 MR. ALVAREZ: I'll add to -- I'm sorry, Manny
17 Alvarez, Southern California Edison -- I'll add to that
18 question, and then I'll go on to my points. I guess,
19 like Valerie, we don't have a separate research program
20 per se, I mean, any kind of research we're doing is
21 basically geared towards operational and planning
22 activities on the transmission side and on the
23 distribution side, that's the majority of our focus for
24 the most part, so I think that answers your question.
25 But I guess what I wanted to bring up today is what I

1 heard during the course of the day was I heard a lot of
2 terminology and phrases that I haven't heard at the
3 Energy Commission for quite a while.

4 And so I guess issues such as balance was brought
5 up quite a bit, starting the dialogue on some of these
6 issues, long term planning, questions between planning in
7 the 10-year cycle that the Energy Commission undertakes
8 under the IEPR, or a longer term period, I think, was
9 something that was touched upon. The models that we use,
10 or should be using, or want to use, or can use, I think,
11 was all brought up and it's something that the Commission
12 historically had undertaken in the past, but in recent
13 history hasn't spent the amount of time there. But that
14 all leads me to the question of the institutional setting
15 for the kind of decisions that you think you're going to
16 have to make, and I wrestle with what is that
17 institutional setting that we actually have and are
18 confronting to make the decisions that you want to make,
19 looking out 50, 100 years from now.

20 And at a practical level, that calls into
21 question some of the basic planning parameters that we
22 have to address. The issue came up today about do we
23 always plan for the peak load? Is that how we plan for
24 everything, even though it's only a limited number of
25 hours per year. But that is one of the basic parameters

1 we have in the electric power industry and, if those
2 kinds of issues are brought up for discussion, I think
3 this is the place where we could have those discussions
4 in looking at that long term.

5 MR. BEEBE: Thanks, Manny. This is Bud Beebe
6 with SMUD. I'm Bud from SMUD. And in these introductory
7 remarks, I can't help myself with my gray beard to note
8 that the last time I was in sort of a broad forum at the
9 California Energy Commission on Climate Change, it was in
10 1999. At that point, we were considering doing some
11 California specific research with the PIER process, and
12 what a change that's made. So at that time, of course,
13 at SMUD we had already been doing some Climate Change
14 sort of interest planning for five years and we were
15 about nine years into sort of beginning to think about
16 that. People in this room have been doing that for that
17 length of time, as well. So, yes, we do incorporate
18 portions that we think we can rely on for climate change
19 into our future scenarios; yes, our Board has taken
20 specific actions to assure that we have goals associated
21 both with greenhouse gas reduction, but also the
22 supplementary very practical goals requiring us to
23 increase renewable energy and increase energy efficiency.
24 So we take it seriously. This will be a good
25 interaction, there's a lot of really interesting stuff

1 actually happening, some of which you've heard today, and
2 some people may not know how new it is, so look forward
3 to that interaction.

4 MR. PETERS: Good afternoon. Dennis Peters with
5 the California ISO. And appreciate the Energy Commission
6 putting on this workshop and appreciate all the
7 presentations today, I was here for the entire day and
8 learned quite a bit, myself personally, and thinks I can
9 certainly take back to our shop. I guess, you know, just
10 looking at all the presentations and hearing all the
11 information, again, I get back to something that Manny
12 just mentioned and Chair Weisenmiller has pointed out to
13 a number of the presenters, you know, in the energy
14 business we're looking at 10-year horizons and we're
15 going to get into more detail, I'm sure, in the questions
16 that Dr. Moser poses to us, but you know, how can we use
17 information that's as far out as 30 years, out to the
18 year 2100, in current planning horizons of 10 years, when
19 it takes five to seven years to plan and build a power
20 plant, seven to 10 years to build transmission lines, I
21 mean, we're dealing with those kind of time horizons. I
22 think that's the biggest gap here. I mean, certainly, we
23 as the ISO are very supportive of the State's policy
24 goals, AB 32, we're very involved in RPS for renewable
25 integration, we've done quite a bit with the CEC and with

1 the PUC, we're involved in the Desert Renewable Energy
2 Conservation Plan, and in that case we have been looking
3 at transmission out to the years 2040 and 2050, but not
4 to the extent that it's actual planning and routing at
5 this point. So I'm looking forward to the dialogue and
6 the questions, and appreciate the opportunity to be here.

7 MR. KELLY: I'm Steven Kelly, I'm the Policy
8 Director for the Independent Energy Producers Association
9 and my members are the experts in developing the
10 resources that the State is going to want to put in over
11 the next, you know, 10, 20, 50 years. So we look forward
12 to working with the State in making that happen.

13 I was asked a question, what kind of keeps me up
14 at night when I think about this, and let me quickly
15 respond by saying that, for my members, the most
16 important thing is to know kind of the what, when, and
17 where that people need to meet these policy goals, and
18 know that far enough in advance that we can get the
19 private sector dollars to the table to make the
20 investments. As Dennis just pointed out, it takes a long
21 time to develop projects and one -- our big concern is
22 the need for regulatory certainty, policy certainty, it's
23 hardly a year goes by that the state doesn't implement a
24 new policy that's pretty significant, that changes
25 everything and forces everybody to go back and re-think

1 the wheel. And we're getting to the point where we think
2 that that's not necessarily helpful. The other thing
3 that I'll just put on the table is what I see as a
4 tension between planning and infrastructure needs.
5 Certainly, we want to use the best available information
6 and technology we have available to make the decisions
7 today that we have to in order to set the right
8 infrastructure. I do have a concern that we're moving
9 down a path as a state where we are what I will call
10 over-siloing resources, where we are cutting this pie up
11 into so many small slices that it's very very difficult
12 to get really competitive outcomes that are going to
13 benefit consumers. And from a consumer perspective, I
14 suspect while they are very concerned when the
15 temperature reaches 105°, they are more concerned when
16 their air-conditioner goes off when it's 105°. So we
17 can't lose sight of the need for the right technologies,
18 the right spots to maintain Grid reliability while we do
19 all this. That speaks to planning horizons, and it was
20 interesting to hear the planning and the modeling that
21 was talked about this morning, that goes out to the end
22 of the Century. For me, when I think of the world, I'm
23 thinking of one long term Power Purchase Agreement away,
24 10, 15 years, that's the scenario that we're kind of
25 looking at, that can manifest itself in infrastructure.

1 And I think I agree with Dan Cayman when he mentioned in
2 his speech that, you know 2030? That's pretty far out
3 there, so it's good to have a 2050 perspective as the
4 long term where we're going; modeling out to the end of
5 the Century, you know, I get less excited about that, but
6 it's probably maybe helpful to do, but I'm not sure that
7 it has a practical implications for the commercial
8 investment that we need here. So I look forward to the
9 discussion.

10 MR. HOWARD: Randy Howard, Director of Power
11 System Planning and Development for Los Angeles
12 Department of Water and Power, and it's very unusual for
13 me to sit here and say, "Steve, ditto." I could support
14 most everything you just said, and that's quite unusual.
15 But I think what I've heard, and we are fortunate at
16 LADWP because we have a very robust large water system,
17 and obviously they've actually been leading a lot of
18 these discussions and efforts on climate change and
19 climate impacts, and we get dragged in, obviously,
20 because of the water resources and the need for the
21 hydropower and how we utilize hydropower. But I did hear
22 some very good information today in how we could
23 incorporate some additional concepts in our resource
24 planning. We do a 20-year IRP, we do every other year a
25 full-blown IRP, and then the off years we do a true-up

1 based on typically regulatory changes. So, regulatory
2 uncertainty does drive a lot of the issues. I think key,
3 too, is Grid reliability, it remains probably the one
4 thing that keeps me up most at night. I mean, I have to
5 worry about, you know, the 280,000 low income customers
6 that, you know, when the lights are out, they can't
7 necessarily afford to go to some motel, some other place
8 after we've had a wind storm, and have a good night
9 sleep. Or those that are on lifeline and rely on the
10 power that we serve. So I think we're doing a pretty
11 good job long term looking at the resources, some of our
12 concerns are, as we're making these very large capital
13 investments, are they the right investments in the mix,
14 but are they at the right locations, as well? Are we
15 going to see changes in wind patterns from where we have
16 put estimates in place as to the capacity factors of new
17 wind farms? Are those going to change? Are they going
18 to change dramatically? Are we going to see the times
19 that they're going to produce change and have we modeled
20 those properly for the future? So, as we make those
21 capital investments, we want to make sure we're doing it
22 in the right place. But I think at the local Grid level
23 is where we're probably the weakest as to the impacts of
24 climate change in cities like L.A. where you have very
25 very old aged infrastructure, it works fine under normal

1 conditions, it really fails under extreme conditions, and
2 it's becoming very challenging to keep up with, as we
3 have these greater and greater anomalies such as the 2006
4 heat storm that just took out, you know, thousands of
5 transformers, or in the 2011 windstorm that put trees
6 into power lines and power lines fell, it becomes more
7 and more challenging as these infrastructures age. And
8 they're not driven by other mandates, necessarily, that
9 we're seeing in replacing the resources, but we're
10 concerned about being able to just deliver the power to
11 the end users. So I'll stop there.

12 MS. MOSER: Thank you. I'm going to bring you
13 guys in, in a little while. I want to pick up on a
14 couple of the themes that you just all raised, and pick
15 up on the idea that you just sort of had which is to name
16 a few words that we hear. One of the sets of words that
17 I heard this morning was "uncertainty," "volatility,"
18 "cross sector interactions," and then from you all, now,
19 I just heard words that sound more like "robust,"
20 "reliable," you know, trying to basically have
21 flexibility, but also being able to provide for the
22 reliable delivery of energy. And so, then, a couple of
23 you brought up the issue of, well, we have planning
24 mechanisms, but they're very short term, they don't go
25 out as far as some of what the scientists presented. So

1 I wonder if maybe you could speak a little bit to the
2 institutional needs that you have to create the kind of
3 environment in which you could take into account some of
4 the longer term changes, even though, you know, the next
5 power plant might take you 15 years, it's going to be
6 around for another 50. So obviously you make much longer
7 lasting decisions in many ways. So I wonder if maybe you
8 could think a little bit, or think out loud about the
9 institutional environment that would enable you to take
10 account of some of the uncertain volatile long term
11 issues that the scientists presented this morning. Just
12 whoever has an idea, speak up, just maybe introduce
13 yourselves again just so the people online will hear who
14 is speaking.

15 MR. ALVAREZ: I guess -- this is Manny Alvarez
16 again -- I guess when I raised that question, I kind of
17 wonder what decisions do we have to make today, what
18 decisions do I have to make five years from now, and what
19 do I have -- what kinds of degrees of freedom do I have
20 to make 10-year decisions? And do I have to make those
21 long term decisions in this particular cycle, or this
22 particular period? Because institutionally we work on an
23 IEPR process and a long term procurement process, and so
24 there's institutional settings in which we have to make
25 those decisions, and we're driven to those processes.

1 And I guess what I don't hear, or what I don't see, is
2 some kind of capability to figure out what decisions are
3 critical to make now, and what decisions can wait
4 sometime in the future. So that's what I'm looking for.

5 COMMISSIONER PETERMAN: And, Manny, this is
6 Commissioner Peterman, I have those same questions and
7 challenges, so I'll ditto that.

8 MS. WINN: Hi, Valerie Winn with PG&E. And I
9 guess one of the things that we always look for is how
10 much flexibility do we have in the planning process to
11 choose between one type of resource or another type of
12 resource, and I think Steve Kelly said it when he said
13 we've got -- we're moving down the path of having really
14 siloed resource planning. And whenever you start, you
15 know, having mandates that this much must come from this,
16 and this much from here, and this much from there, you
17 start ending up with something that looks like the
18 State's Budget process and, you know, we can't figure out
19 how to get all the pieces to work together. So all those
20 silos do is reduce our flexibility. So we, you know,
21 really look towards what is the State's overarching goal,
22 and which we think is really climate reduction, and then
23 how do we develop a flexible toolkit to help achieve that
24 in a way that ensures reliability and reduces cost to
25 customers? But right now, we're looking at things very

1 fragmented, and all that does is reduce flexibility and
2 increase cost.

3 MR. BEEBE: Bud Beebe with SMUD. Energy
4 infrastructure changes very slowly. You know, and you're
5 absolutely right when you say that, if you put in a power
6 plant you start thinking about the power plant maybe 20
7 years ahead of time, and maybe it happens, maybe it
8 doesn't happen, 10 years ahead of time, people in the
9 industry are starting to like crystallize certain
10 specifics, and you know, eight years ahead of it, you
11 have to have things going because, by then, you have to
12 have siting, and there's lots of things that have to
13 happen. So getting a new project going takes a long
14 time, but once it's in, it's going to last for a long
15 time. Nuclear power plants, we design those for 40
16 years, that was 40 years ago, incidentally, that's
17 another note, and all of these resources they have time
18 frames, but they're very much longer than people sort of
19 tend to have to deal with in their normal lives. And
20 once transmission gets involved, once you've put in the
21 transmission in the substation, those things change as
22 often as, say, a freeway corridor. So we know that we're
23 dealing with things that last a long time and that's one
24 of the reasons that the electric sector management is so
25 very conservative and very set on trying to do the best

1 we can near term, medium term, and long term. We really
2 do accept input on these far reaching phenomena to the
3 extent you can understand them, and we have to be
4 responsive to regulatory changes that can happen
5 frequently, unfortunately, and all of these things
6 happen. But it's sort of a continuum, so you have long
7 range, you've got mid range, you've got near term, and
8 then resources that have a life span, but it's long, but
9 it comes to an end at some time. So it's that continuum
10 we have to deal with.

11 MS. MOSER: Yes.

12 MR. KELLY: Susanne, this is Steven Kelley with
13 IEP, and just one observation, that it's good to do the
14 planning and looking for some of the variables that were
15 in the models like what's going to be the climate effect
16 on wind variability down 50, 60 years down the road is
17 interesting, but unless you overlay that with what's the
18 probability a developer could actually get the land at
19 that site, it's irrelevant. I mean, we are driven from
20 an investment perspective about where we can actually
21 build -- is the land owner going to provide the land to
22 make that site available to us? How can we site it? And
23 those are much more immediate concerns that are driving
24 the investment. So, I have concerns that we would go
25 down a path that would suggest that we'll be able to map

1 this out on a long term basis, where exactly we want
2 these resources. We know roughly where they are, we know
3 kind of where the geothermal resources are, we know
4 roughly where the wind is, this is not very surprising
5 and people have been talking about those areas for a long
6 time; we've already looked at that stuff a couple years
7 ago. But when you get down to a more proscriptive
8 element of directing procurement, or resource
9 development, it gets really problematic in my view.

10 MS. MOSER: Uh huh. Michael, I'm going to call
11 on you in this part of the conversation. What tools do
12 we have that help us, you know, sort of respond to the
13 issue that was raised about ferreting out what are the
14 near term priorities where we need to really give
15 direction to decisions? How do we figure that out, what
16 we need to do first, second, and third?

17 DR. HANEMANN: I think we need to change the
18 tools we use a little bit, so there's tension between the
19 next 10 years vs. 20, 40. I think both of these need
20 changes. With regard to the next 10 years, I think
21 what's important is extreme events, the likelihood of
22 extreme events, and the unusual frequency of extreme
23 events, which would be a sign that things are changing,
24 so sort of focusing on the mean doesn't tell us because
25 this is a wide band. So I think, in the range of

1 modeling that we do, that we want to focus more on
2 predicting extreme events, and then we have a template
3 for seeing whether they're unusually frequent. For the
4 mid-term, the idea I have is this, I think I could
5 imagine taking some energy scenarios, say, for 2040, what
6 we might need and want in terms of mixes, and then
7 working backwards and saying if that were to be realized
8 in around 2040, sort of what investments would have to be
9 made, and given timing or whatever, what would be a
10 trajectory and what would have to happen when. And
11 you're not endorsing a scenario for 2040, and you look at
12 several ones, but you'd get some ideas of how much
13 flexibility we have in time and when we might sort of run
14 out of options. And so I think -- I don't think that
15 exercise is being done by the conventional modeling. But
16 I think it would be an exercise that could be
17 informative.

18 And I want to mention one other point. You know,
19 many mainstream economists have criticized AB 32 because
20 it goes beyond a carbon price and has Renewable Portfolio
21 Standards, efficiency standards, and they have argued
22 this theoretically carbonless world, that you only need
23 one price signal and having multiple tools is, at best,
24 unnecessary and, at worst, counterproductive. I've
25 responded to them and my own view is they are wrong with

1 regard to the situation now. But I want to mention that,
2 by 2020, or some time, you don't want -- it would be
3 counterproductive to have described siloed regulations
4 for carbon price, Renewable Portfolio Standard, and other
5 proscriptive regulations, and it strikes me that it would
6 be desirable to thin out the various regulations and rely
7 then more on the power of carbon price. Whether that's
8 2020, 2018, 2022, I don't know, but the reason I'm
9 mentioning this is it seems to me, in the next IEPR, the
10 issue of carbon market dynamics is relevant, the issue of
11 what happens to revenues depending upon how carbon
12 permits are distributed, it seems to me that may be
13 something that is desirable to get into because those
14 things could have an effect on, for example, the fuel mix
15 that is used, the role of the renewables. And so I think
16 some thought of what the market might be doing in this
17 regulatory framework, together with how it might need to
18 evolve at some point over the decade.

19 MS. MOSER: Dan, I want to call on you, as well,
20 on this one. I mean, you have put forward a number of
21 these scenarios, mixes of fuels and how we might meet a
22 particular policy target, so I'm wondering if you have
23 undertaken these sorts of scenario planning with
24 backcasting, together with the people who actually make
25 the decisions, or have to figure that out operationally -

1 -

2 MR. BEEBE: Susanne, I'm sorry, and, Dan, but I'd
3 like to just comment on what Michael had to say about
4 extreme events.

5 MS. MOSER: Sure. Go ahead.

6 MR. BEEBE: And extreme events often lead to, you
7 know, specific new actions, and lots of things like that,
8 and I fully agree with that. But just to take, for
9 instance, you know, when a tsunami is about to occur, or
10 is occurring, actually, the first thing you see is that
11 the ocean starts to like go out, right, before the new
12 stuff comes in. And so you need to watch some of these
13 early things, as well. And I'll say that the trees have
14 been marching uphill for a couple of decades, and birds
15 and other fauna have been changing where they go, as
16 well, so we should be aware that something is happening.
17 In these long term effects, the question of are we going
18 there, that's over, we know that we're going there and
19 what we need to do is learn what we can do about it now,
20 not being too over-reactive, learn more about how to deal
21 with these things. So, yes, extreme events are going to
22 be very pivotal, but we already know that we're on the
23 march.

24 DR. HANEMANN: Let me just say, I was thinking of
25 measuring -- the unknown is the speed of change and, I

1 agree, we know we're changing, and so what I'm thinking
2 is the frequency for extreme events may be a diagnostic
3 for pinning down, or for better pinning down, the speed
4 of change, and the speed of change is relevant because it
5 tells us how much episode of window we have before we
6 have to -- so that was the perspective I was thinking of.

7 MR. HOWARD: If I can jump in, and I apologize, I
8 have to leave to catch a flight, but I wanted to touch a
9 little bit on this, too. The speed of change -- and Bud
10 is correct, typical planning cycles are quite long for
11 utilities and new generation, planning new transmission,
12 and they continue to be quite long. But the amount of
13 change we've been making, none of us in this room have
14 ever operated previously at the levels we operate today
15 of renewables. So our reaction to the system and to some
16 of these extreme changes, using the resource mix we have
17 today, has never been done. So, as we go forward, I
18 mean, what I'm really trying to capture is how do I
19 operate the system at these extremes knowing this is a
20 new world I've never been in, and there aren't a lot of
21 models out there that we can compare to, there's not a
22 lot of utilities that have these same conditions that we
23 might have in our own mixes. So today I have -- and we
24 just brought it on in the last three years -- 1,000
25 megawatts of wind -- I didn't have 1,000 megawatts of

1 wind in 2007. But with the off peak load of 10,000
2 megawatts total in, say, the fall or the spring, you
3 know, a thousand megawatts of wind is a lot of wind. But
4 then I have an anomaly that hits and none of the wind is
5 blowing, what does that mean to the operations of my
6 system? And what do I need to do to integrate that? So
7 I think from what I've heard and some of those concerns
8 is these more frequent anomalies which are new to us, so
9 that adds this greater risk to how we operate, and then
10 at the same time converting and putting all these new
11 renewables in to have these intermittency in risks that
12 we've never experienced before, it's quite challenging.
13 And that's where I'd like to see a lot more of the
14 modeling effort, as we try to find the right approach to
15 operating the system.

16 MS. MOSER: I think that's a really interesting
17 addition, and I want to put it back to you, Dan, in terms
18 of both backcasting from maybe a desirable mix in terms
19 of the emissions, and how -- whether or not you have
20 worked with utilities to maybe think through what would
21 have to happen to get to any one of these, but then also
22 taking into account the sort of multi-objectives --

23 COMMISSIONER PETERMAN: I want to make a comment
24 before Randy leaves, sorry --

25 MS. MOSER: Okay, all right.

1 COMMISSIONER PETERMAN: I was going to wait, but
2 he was on the edge and just regarding -- excuse me for
3 interrupting -- I thought your points were spot on,
4 Randy, and I think that ties, though, into how I think
5 about regulatory certainty and just something to think
6 about is that, ultimately, I mean, we could have
7 regulatory certainty if we're around meeting our 2050
8 goals, by putting in some really extreme renewable
9 targets for now, you know, 100 percent in 10 years, or
10 something like that, but to your point, we are -- this is
11 our first experience with scaling at this level, and so I
12 think that's the rationale for introducing these changes
13 over time, and with the introduction of changes, and with
14 the experience, then you do have regulatory changes to
15 really adapt to how these things work in real practice,
16 what is it like to have a peak extreme event when you've
17 got a couple thousand megawatts of wind. And for me,
18 that is the challenge between providing regulatory
19 certainty and flexibility, and acknowledging where we are
20 along the experience continuum, so I just wanted to make
21 that point while you were here. Thank you.

22 MS. MOSER: Well, third attempt, so I think it's
23 still a good question to answer.

24 DR. KAMMEN: It's a great question, I mean, and
25 to be honest, I think it's more of a process than an

1 answer in the sense that there are tools that we
2 collectively have, and actually a lot of the modeling
3 work done at CAISO sort of began the process of thinking
4 about how to mix the current and the near and the middle
5 term evolution of rates with these goals, with
6 reliability, with clarity around what's going to be the
7 rates of return on different types of transmission and
8 generation assets, you know, we've heard lots and lots
9 about megawatt buildings and megawatt utilities, and all
10 of this, are features where I think we can use the models
11 to backcast. And I agree with Michael to a large degree
12 on extreme events, but I also actually think that
13 managing the process of what are our rates going to be,
14 and what are the features we're going to build in, so
15 that this process is sustainable environmentally and is
16 profitable, and I want to stress profitable, not just
17 kind of a wash, but is profitable for utilities because
18 this has to be a process where we want to make these
19 investments work. And that's where I think the models
20 really become useful because we can backcast, we can do
21 the so-called end minus 1 in reliability analyses, and
22 the more that the modeling tools, whether it's the ISO,
23 NREL's, our model, are available to all the players,
24 that's actually where I think the world hasn't gotten
25 yet, because the models right now are the tools only for

1 the experts in very small shops, and people bring
2 scenarios to get looked at, and then you kind of get a
3 number and walk away. That's actually a modeling process
4 that I think defeats what California's process is about.
5 And it's much more about "give me a range of scenarios."
6 I got a call earlier today from the White House OSDP and
7 they said, "We think we're going to hit the following
8 price numbers for storage." And I sort of -- my jaw
9 dropped because \$100 a megawatt are their really low
10 numbers. I said, "Well, I can run a scenario on them,
11 but you've got to tell me what is the investment at the
12 Federal level to make these things happen." And given
13 those kinds of inputs, we can generate cases that, again,
14 don't specify a number, but they specify what would it
15 take to get there. And I found that kind of modeling
16 process the most useful. So the meeting I was just at in
17 the UK, the Clean Energy Ministerial hosted by the U.S.,
18 is one actually where utility after utility in Australia
19 and in Europe said the exact same things I'm hearing, and
20 I actually think that there is a dialogue of the low
21 carbon leaders, of which California's utilities are
22 hugely important, and they help define these questions.
23 So the range of scenarios that, on the energy side for
24 our case, on the water case for the others on the
25 biodiversity side, that we can backcast from is one of

1 the ways to get there. But I also think we have to
2 figure out the process to build in reasonable evolution
3 of utility rates to make these investments the most
4 attractive, not just minimally, you know, it's not just
5 meeting the minimum standards, but to make these the more
6 attractive cases. And that's, I think, the place where
7 the modelers should be pushed the hardest. It's not,
8 "I'll tell you a scenario that gets to 450," it's what
9 does it take in terms of what the cost of water is going
10 to be, what the requirement for the discharge rates in
11 terms of temperature are going to be, what are the rates
12 that are reasonable for commercial and residential
13 customers, and to get to the building question we had in
14 the open part. I would say the most exciting part of the
15 story isn't the traditional assets, there's lots of
16 things we can do with them, but it's how much of the
17 building fleet in the state, both commercial and private,
18 can we make into profitable generation and consumption
19 facilities. That's really where the 12 gigawatt DG
20 target becomes a new business model. And that, I think,
21 is where we need to get pushed to really prove that there
22 are scenarios that work, and then, whether it's cities
23 that pilot Smart Grid opportunities, that let us build
24 those out, and we're ready to do that.

25 MS. MOSER: But before you complicate it further,

1 I want to ask Dan Cayan a little bit about the issue that
2 Michael brought up, which is the extremes and the concern
3 we've heard here about being able to reliably deliver
4 energy, especially under peak demand. What is your
5 hunch, your expert opinion on when do we get better about
6 forecasting what those extremes, those ranges, those
7 peaks are over, say, the next 10 years, 15 years, that
8 are common in the planning horizons?

9 DR. CAYAN: Okay. It depends on what we're
10 talking about concerning extremes. So, as you all heard,
11 winds are, you know, if we're talking about big
12 windstorms, those are problematic, one thing -- and other
13 extremes, for example, extremes in temperature are kind
14 of -- a zero order model is that the temperature
15 distribution is a bell-shaped curve, and the bell-shaped
16 curve is drifting, it's kind of what Bud said, things
17 are, you know, plants are migrating and so on and so
18 forth. You know, when I listen to the concern about -- I
19 understand that there's a lot of operational issues that
20 are kind of in your face and you may not have the
21 flexibility of having a lot of say so in terms of 50
22 years from now, but, you know, I think our culture has
23 been built around an environment that essentially varies
24 about a level of natural variability, and what the
25 science is telling us is that there are certain changes

1 that are pretty reliable, there's no climate model that's
2 not warming in the future, there's virtually no model
3 that doesn't predict that sea level rise is going to
4 increase, for example. And so I guess I would wonder, if
5 our civilization had developed under a world which was
6 seeing this sort of inexorable change, albeit maybe the
7 rates are somewhat uncertain, but at least in the future
8 I think we can count on something in the neighborhood of,
9 you know, close to a half a degree Fahrenheit of change
10 within the next 10 to 15 years, and that doesn't sound
11 like a whole lot, but when you start calculating how many
12 degree days that is, it's beginning to matter, and I was
13 thinking about the Chairperson's question earlier today
14 about, you know, the 10-year horizon, and all of a sudden
15 I went, I think these incremental changes are something
16 that actually begin to matter. And the fact that we can
17 attribute this to anthropogenic greenhouse gases, the
18 importance of that statement and that fact is that it's
19 not going to reverse. So, you know, if you're running a
20 system where you know that there's going to be a fairly
21 small amount of change, I guess, in the next 10 years,
22 but then you can expect another fairly small amount of
23 change in the subsequent 10 years, and subsequent and
24 subsequent and subsequent, so that the accumulation of
25 this is going to be, you know, essentially overwhelming,

1 I sort of thing you have a different philosophy in
2 planning. Now, that's me talking without knowing the
3 sort of details that you guys face, and so forth, so
4 forgive that, but I think the fact that there are certain
5 changes that are not reversible in our at least 100,
6 maybe well beyond that, years, has to be factored into
7 the way you do business. So, anyway, that's --

8 MS. MOSER: Yeah, so I want to take that idea,
9 both the guaranteed more heat extremes, guaranteed
10 changes over time, I want to take that back and put it
11 back to you all about what do you need in the short term
12 to help you increase your safety margin, if you will, the
13 thing that will allow you to avoid the brown-outs, if you
14 will, what will give you that increased margin? And is
15 that information from the scientists? Or is that changes
16 in the regulatory system? Or what will give you more
17 buffer room, if you will? And what would it take for you
18 to build that philosophy that Dan just sort of laid out
19 into your ongoing processes? So whoever wants to take it
20 first, and we'll go from there.

21 MR. BEEBE: Okay, I'm jumping in. I always do --
22 sorry, Bud Beebe -- we always want to know what the big
23 picture is and, you know, half a degree here on average,
24 and half a degree there on average really doesn't stoke
25 the fires. This is where Michael Hanemann's message that

1 it's going to be extreme events as viewed by people, what
2 is an extreme event? Well, it could be a lot of things,
3 but whatever people decide it is, you'll know it when you
4 see it kind of a thing. And those will come, but we're
5 all asking, you know, how will it affect me? And so at
6 SMUD we have several things that I'd like to know about
7 climate change, and the big old GCMs couldn't tell us the
8 answers to those. Some of the newer are giving us a
9 little better picture. Certainly the work that you did
10 back in 2003, 2004, in putting together some of these
11 downsized GCM outputs was very helpful. But for SMUD,
12 we'd like to know what's happening with the mid-Sierra
13 Snowpack, you know, that's quite something, and that's a
14 no brainer, certainly, it's there. Some of these others
15 are not -- may not be as interesting to other people, but
16 they're very interesting to people in Sacramento and to
17 SMUD, and one of them is what's going to happen to the
18 Delta Breeze? Help us understand the Delta Breeze. And
19 if it's a function of El Niño, or the function of the
20 North Pacific Oscillation, or whatever, let us know, you
21 know, to the extent that you can. At SMUD, we've got the
22 Solano Wind Project, it's extremely dependent on the
23 Delta Breeze. And a funny thing happened when people say
24 "what keeps you up at night?" Well, it could be hot
25 weather because, a couple of years ago, we had a not

1 particularly strange summer in terms of average
2 temperatures, but we had a couple of heat events, one of
3 which where the Delta breeze pretty much shut down, and
4 it left people in Sacramento with hot nights for the
5 first time in anybody's memory. And the difference is,
6 at my house, when we open up the windows in the
7 summertime, what we do is we wake up to a 65° or a 68°
8 house, and then we close them and we go to work, or we do
9 whatever we're going to do, and the house starts its
10 warming trend from 68° or 70° Fahrenheit. But if you
11 have a hot night and you don't open the windows, or if
12 you've got a poorly insulated building, then you start
13 the day at whatever that low temperature was, and we had
14 a couple of nights where the low temperature was around
15 74°, which to people on the East Coast, they're going,
16 "Of course," but for us, that was a big dang deal. And
17 that summer, our peak, which we designed for 105°
18 Fahrenheit, our peak was supposed to be somewhere around
19 2,900 megawatts, in fact, we had peaks nearing 3300
20 megawatts, so we had to come up with an extra 400
21 megawatts that we hadn't planned on. Now, it was there,
22 I mean, we're serious when we say that we build a robust
23 system, and we plan for a lot of contingencies, so we
24 could cover that thing. But if the Delta breeze shuts
25 down on a regular basis for some reason, maybe it will be

1 variable, but tell us if it's going to happen again, that
2 would be a big deal to us.

3 Another one is sea level rise, as you sit, you're
4 not very high from sea level. Down here at the
5 Sacramento Riverfront is sea level. Now, it's true that
6 it goes up as we get more flow in the river, but if the
7 flow in the river stops, that's sea level. So we're a
8 long ways from the ocean and yet we're right at sea
9 level, and that's a huge thing for Sacramento -- yes, we
10 have dikes and we have channeling, and maybe a peripheral
11 canal, who knows what we're going to have? But it's a
12 huge issue and, so, sea level rise needs to be understood
13 as it specifically concerns the Delta region.

14 The other one is the electricity demand, you
15 know, interesting, in Max Auffhammer's slides, his slide
16 9, it shows two different scenarios, one is what happens
17 if you just take the existing stock of electricity users
18 and you increase temperature, what is the usage, what is
19 the demand requirement? And the other one is, if people
20 start to react to those higher temperatures and they
21 change the equipment that they have, and that shows you a
22 different and higher one, we've had this discussion
23 internally at SMUD and we can't come up with the right
24 answer. People tell us that 105°, everybody has got
25 their air-conditioning on in Sacramento, and others

1 postulate that, well, if that happened more than once or
2 twice, people would be changing their habits, or changing
3 their HVAC. And we'd like to have that, and that's
4 actually more of an EE and it hits other structures
5 besides climate change predictions. So maybe there would
6 be some information we could get on that.

7 MS. MOSER: Okay. I know it's the time when you
8 wanted to stop, so do we have another three minutes to
9 get any other answers in?

10 COMMISSIONER PETERMAN: Well, I would say we have
11 as long as you want to stay, but I would say five minutes
12 would be respectable.

13 MS. MOSER: Okay, so if anybody else would like
14 to jump in on this question of, you know, what do you
15 need from either the science, or from maybe not
16 scientific help, if you will, institutional help to give
17 you a little bit more safety margin in running your
18 operations.

19 DR. KAMMEN: We're taking notes

20 MS. MOSER: Okay --

21 MR. KELLY: I'll just offer up a thought. This
22 was feeding off one of the presentations this morning
23 about the effects of climate change on animal migration.
24 And when I was listening to that, I was fascinated, but
25 then I was going, "Oh, my gosh, this is going to be a

1 mess." I mean, people siting generation, if we're going
2 to incorporate that in planning and siting, how do you
3 possibly deal with that right now, based on the
4 information we have? I mean, the movement of animals, 1)
5 will be used for litigation to stop everything that
6 anybody wanted to do, but 2) strikes me as a the
7 development of multitudes of scenarios in siting cases
8 that will be very difficult to address and time
9 consuming. So when I heard that, I thought, well, that
10 could be happening, but, boy, what is the practical
11 implications of trying to integrate that concern into
12 policy in siting. And I don't have an answer here, but I
13 would just highlight that as a warning that I had in my
14 head.

15 DR. CAYMAN: Oh, sorry. The utility operators
16 from Australia at the meeting we were just at said the
17 exact same thing. And there's no easy solution to it,
18 but in the same backcasting way, we could look at what
19 are the demands on, for example, the high transmission
20 build-out generation cases vs. the low transmission
21 build-out cases, vs. what's the value to put certain
22 transmission in specified corridors knowing we're paying
23 an extra price to do it there to bring some together.
24 We're already getting places where, I mean, Norway, which
25 has more money in this game than we do, is undergrounding

1 transmission at a known higher cost in areas they
2 anticipate problems vs. just co-location, using already
3 public access. So none of it solves it, but asking those
4 questions and making these kind of modeling efforts
5 available to say "here is what it would imply" is what
6 the models can now do and, to be honest, three years ago,
7 I mean, my model couldn't do it then, I don't know about
8 yours, but we couldn't even give you the scenarios a
9 couple years ago. Now we can at least interact on what
10 it would imply. What are the extra costs if we're going
11 to try to route specific transmission lines near the
12 Mojave along current highway and rail line? I mean,
13 that's the kind of thing we can now do.

14 COMMISSIONER PETERMAN: And also, I would just
15 add to Steven, just thinking about the siting
16 perspective, I mean, one of the challenges is you do have
17 a number of Conditions of Certification that one has to
18 implement over the years of a project's lifetime and, to
19 your point, perhaps the accuracy of those may change over
20 time as species migrate. And so I would want particular
21 attention paid to some of those most vulnerable species
22 that come up in our cases, to understand those patterns
23 better, and to look at some of those conditions in light
24 of potential movement, for example. But I think it's a
25 valid point raised and could be a Pandora's Box.

1 MS. MOSER: Okay, Michael, last 30 seconds.

2 MR. HANEMANN: So a quick point. This
3 illustrates a key point of economic and regulatory
4 significance, which is it looks as though we will face a
5 greater level of risk in many dimensions with climate
6 change. And the question is, does that justify
7 investments and does that justify a higher rate of
8 return, does this justify investing resources? The
9 investments that we wouldn't have made in the past
10 because we would have felt those risks were sort of too
11 low and it wasn't an appropriate decision. So it's not
12 just about rate of return. The routing is an example,
13 you know, it's really a metaphor for many of these
14 things, money to underground cables, you know, given a
15 chance, that (indiscernible), this is true across the
16 board and it needs some sort of consensus about, you
17 know, what risks are now reasonable to take on. In that
18 context, I could imagine the scenario, you know, what
19 utilities -- urban (indiscernible) have to do to submit a
20 five-year plan, and one of the elements in that now is
21 identifying a climate scenario -- a drought scenario, but
22 a climate scenario -- and saying how they would address
23 that scenario if it happened. Well, I could imagine
24 something like this, where the Energy Commission, or the
25 PUC, adopted a couple of sort of scenarios, and then

1 said, you know, "Who would you manage in that scenario?
2 And what investments would you need in order to make
3 yourself robust in that scenario?" But there needs to be
4 sort of cover for managers to make investments against
5 risks that in the past would have been regarded as
6 unimportant, you know, not worth considering.

7 MS. MOSER: Right. I think you bring up an
8 interesting point and one that echoes what Kosta was
9 presenting earlier with his example with the INFORM
10 approach. So I want to respect the time constraints and
11 close this session, but really only to hope that -- to
12 say to hope that this is an interruption of a
13 conversation that we just began. It seems like what this
14 day here just showed is how much we both can learn from
15 each other and what the interesting questions are to
16 pursue, what you all need from the science, and you take
17 already something home. More importantly, I think it is
18 an opportunity to build the relationships that make it
19 more likely that the information is actually used. And
20 maybe one other final point to emphasis, just to
21 reiterate what came up several times, which is this issue
22 of cross-sectoral integration. I mean, you brought up the
23 water sector, it was brought up earlier, it seems to me
24 that, you know, the siloed approach to this, whether it's
25 in the science community or in the management community,

1 does not work, nor does the silo between science here and
2 operation here does also not work. So the question that I
3 want to leave us with is what institutional set-up do we
4 try to put on the table, or try to build, that allows us
5 to get the kind of climate service to people, that gets
6 the conversation going, this dialogue that we need? So
7 with that, I'll turn it back to you. Thank you.

8 COMMISSIONER PETERMAN: Thank you. I wanted to
9 make a couple of quick comments now before we move into
10 public comment because, at that point, I don't know who
11 is going to be left. So I hope we can convene a panel
12 like this again in the future and continue this dialogue.
13 As someone who has been a researcher for a large chunk of
14 my life, and now works for an agency, and has worked with
15 utilities, I can truly attest that everyone works really
16 hard. But there's a challenge between getting everyone
17 to work on the right things together, and so -- and it's
18 also really challenging to get data as a researcher. So
19 I would encourage these discussions, as well, and have
20 the agencies think, and utilities think, about how to
21 make data more available for researchers to do. You
22 know, I've waited sometimes years to get data. And if
23 you really want to have action, you've got to make that
24 stuff available sooner and work with the researchers, as
25 well, about maintaining confidentiality and issues like

1 that.

2 I really liked the dialogue about specifically
3 what you need from a regional basis and I would encourage
4 you to submit that information both to us in public
5 comments, or just by talking to the researchers directly.
6 Another challenge is that the procurement process is not
7 necessarily transparent for most utilities, or for the
8 most part it's not, and so I think one of the challenges
9 is that, when you have a non-transparent, more opaque
10 process, it's not clear sometimes what are the drivers
11 for project building. And I think it is true that, is
12 the land available is the most immediate driver. But I
13 also do think we need to incorporate some of these long
14 term potential climate change impacts, I mean, because
15 frankly the reason we're investing all this money in
16 renewables primarily is a concern about climate change.
17 And I don't want to be in the situation in 30 years where
18 we've realized we've not included the climate change
19 penalty, and we've invested in projects that we
20 shouldn't. Most of these projects do have PPAs and long
21 term -- somewhat long term -- price certainty, and I
22 think we've got to remember that, and then be thoughtful
23 about how to incorporate some of those future
24 considerations into our decisions. And then, finally, I
25 would just make the point that, in the discussions we've

1 had here, and we're talking about extreme events and
2 certain outcomes, and unfortunately some of the most
3 disadvantaged and vulnerable citizens in our society are
4 going to be most affected by the decisions we're talking
5 about here, particularly the elderly, communities of
6 color, the low income. And so I do want to continue to
7 encourage us to think about these impacts, that if they
8 do happen, they will be significant, and they are
9 exacerbated by some social and inequalities we already
10 have. And those people aren't necessarily present here
11 at this table, but they're constantly present in my mind
12 as the public member, and I'll be encouraging you in your
13 research to think about that and being the main reason
14 why we're here. So those are my general set of comments.
15 And thank you very much for the panel.

16 CHAIRMAN WEISENMILLER: Yeah, again, I'd like to
17 also thank people. I think, you know, when we look at
18 it, I mean, the things that strike me as interesting is
19 there is an awful lot of uncertainty in the energy area,
20 and for one who has been modeling the energy systems for
21 30 years, it's remarkable at times how far off you are in
22 the models. But at the same time, what we need to strive
23 to do is identify the risks, and certainly climate change
24 is a major risk, and that has different elements of risk
25 there, and then try to figure out how to start covering

1 those risks through mitigating it. And certainly looking
2 at the impacts, I think, I read an interesting article
3 recently on the Titanic and saying that's sort of a
4 metaphor for a lot of us in society since, within the
5 Titanic itself, obviously the impacts were greatest for
6 people in lower decks, and so, again, I think in terms of
7 looking at the impacts of climate change on our society,
8 the impacts are going to be quite different in terms of
9 where they're going to occur, and so trying to come up
10 with the right policy mix to not only deal with the risk,
11 but to deal with the equity impacts, which are going to
12 be significant there. That's going to be one of the
13 challenges we have to do. But, again, I think we have to
14 really look at risk and we have to think about what's the
15 spectrum, and how do we do policies that can mitigate
16 across the significant risks that we have. So again,
17 thanks.

18 COMMISSIONER PETERMAN: And rates were mentioned
19 a couple times, and so we're having a workshop on retail
20 rate impacts and costs of renewables on May 22nd, we've
21 got a number of workshops coming up this summer that
22 touch upon a lot of the issues that were raised here, so
23 I encourage you to call in, listen, or participate as you
24 can. Questions?

25 MS. KOROSEC: No questions. Just wanted to give

1 one final opportunity just for public comment in case
2 there's anybody here who would like to say anything. All
3 right.

4 COMMISSIONER PETERMAN: Any public comments? Any
5 panelists who want to present themselves as a member of
6 the public, you have three more minutes? No one has
7 figured that game out yet? Well, let me take a moment,
8 then, to say thank you very much to the staff who have
9 worked on this workshop, particularly the IEPR staff,
10 it's fabulous as usual, and the staff within PIER, and a
11 special thank you to Guido, who has led the Energy
12 Commission's work on climate change and the effects on
13 the Energy sector and climate change adaptation for a
14 number of years, and we greatly appreciate his effort and
15 continued effort of the staff in the R&D Division. And I
16 particularly look forward to hearing again from you all
17 about what you could use from the researchers because I
18 think we can serve as a conduit for some of that
19 exchange, and I'm particularly interested in the
20 developers' perspective because you are the ones who are
21 taking that immediate risk on now, and I appreciate that.
22 And if there's information that can be valuable to you in
23 terms of your decisions, as well with our objectives as a
24 state, that would be good to know. So with that, we'll
25 adjourn. And we're done on time. Excellent, everyone.

(Adjourned at 4:57 p.m.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25