

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

California Energy Commission <b>DOCKETED</b> <b>12-IEP-1D</b>
TN # 2852 JUL 05 2012

In the matter of ) Docket No.: 12-IEP-1D  
 )  
 Preparation of the )  
 2012 Integrated Energy )  
 Policy Report )  
Update (2012 IEPR Update) ) Public Workshop

LEAD COMMISSIONER WORKSHOP  
 ON  
 RETAIL RATE AND COST ISSUES WITH RENEWABLE DEVELOPMENT

CALIFORNIA ENERGY COMMISSION  
 HEARING ROOM A  
 1516 NINTH STREET  
 SACRAMENTO, CALIFORNIA

TUESDAY, MAY 22, 2012  
 10:00 A.M.

Reported by:  
 Peter Petty

## APPEARANCES

### Commissioners Present:

Carla Peterman, Lead Commissioner, 2012 IEPR  
Andrew McAllister, Commissioner

### Staff Present:

Suzanne Korosec  
Al Alvarado  
David Vidaver  
Karen Griffin  
Lynette Green

Also Present (\* Via WebEx)

### Panelists

Richard McCann, Aspen Environmental Group  
Jon Pietruszkiewicz, Black & Veatch  
David Lewis, Pacific Gas & Electric (PG&E)  
William Walsh, Southern California Edison (SCE)  
Jim Tracy, Sacramento Municipal Utility District (SMUD)  
\*Randy Howard, Los Angeles Department of Water & Power (LADWP)  
Jason Simon, California Public Utilities Commission (CPUC)  
Brendan Pierpont, Climate Policy Initiative  
Chloe Lukins, DRA  
\*Stephanie Chen, Greenlining  
Tom Brill, San Diego Gas & Electric (SDG&E)  
Amrit Singh, PG&E  
\*Russell Garwacki, SCE

### Presenters

Severin Borenstein, UC Energy Institute

### Public Comment

Steven Kelly, Independent Energy Producers Association (IEP)  
Rusty Klassen, Tensleep Advisory  
Valerie Winn, PG&E  
Daniel Kim, Westlands Solar Park  
Ray Pingle, Sierra Club  
Carl Silsbee, SCE  
Elise Brown, UC Davis Energy Institute CGE Collaborative

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

## INDEX

	PAGE
<b>Introduction</b>	
Suzanne Korosec, IEPR Lead	5
<b>Opening Comments</b>	
Commissioner Carla Peterman, Lead Commissioner	7
<b>Summary of Costs Issues in Renewable Power in California: Status and Issues Report</b>	
Suzanne Korosec	11
<b>Panel 1: Presentations and Panel Discussion on Total Cost Estimates, Projections, and Drivers</b>	
Moderator: Al Alvarado, Energy Commission staff	22
Panelists:	
1. Richard McCann, Sr. Associate, Aspen Environmental Group	27
2. Jon Pietruszkiewicz, Renewable Energy Sr. Project Manager, B&V	37
<b>Public Comments</b>	57
<b>Lunch</b>	74
<b>Panel 2: Cost Consideration in Procurement and Policies to Reduce Costs</b>	
Moderator: David Vidaver, Energy Commission staff	74
Panelists:	
1. David Lewis, Director for Structured Transactions, PG&E	75
2. William Walsh, Manager of Renewable Procurement, SCE	78
3. Jim Tracy, Chief Financial Officer, SMUD	80

## INDEX

	PAGE
<b>Panel 2: Cost Consideration in Procurement and Policies to Reduce Costs (Continued)</b>	
Panelists:	
4. Randy Howard, Dir. of Power System Planning and Development, LADWP	81
5. Jason Simon, RPS Staff, CPUC	83
6. Brendan Pierpont, Analyst, Climate Policy Initiative	86
<b>Public Comment</b>	131
<b>Presentation on Rate Design to Mitigate Cost Impacts</b>	
Severin Borenstein, Director, UC Energy Institute	134
<b>Panel 3: Cost Consideration in Rate Design and Policies to Improve Rate Design</b>	
Moderator: Karen Griffin, Energy Commission staff	147
Panelists:	
1. Amrit Singh, Sr. Director for Analysis and Rates, PG&E	147
2. Jim Tracy, Chief Financial Officer, SMUD	153
3. Tom Brill, Director of Strategic Analysis, SDG&E	158
4. Russell Garwacki, Pricing Design & Research, SCE	161
5. Stephanie Chen, Sr. Legal Counsel, Greenlining	173
6. Chloe Lukins, DRA	183
<b>Public Comment</b>	220
<b>Adjournment</b>	234
<b>Certificate of Reporter</b>	235

## 1 P R O C E E D I N G S

2 MAY 22, 2012

10:04 A.M.

3 MS. KOROSEC: Good morning everyone. I'm --

4 COMMISSIONER PETERMAN: Good morning, everyone.

5 We're going to get started, so everyone please find their  
6 seats and we'll begin so we can get everyone out on time  
7 and give attention to all our panelists. Thanks.

8 MS. KOROSEC: Thank you, Commissioner Peterman.  
9 Good morning. I'm Suzanne Korosec. I manage the Energy  
10 Commission's Integrated Energy Policy Report Unit, and  
11 welcome to today's workshop on Retail Rate and Cost  
12 Issues with Renewable Development.

13 Just a few housekeeping items. For those of  
14 you who may not have been here before, restrooms are in  
15 the atrium, out the double doors and to your left. We  
16 have a snack room on the second floor at the top of the  
17 atrium stairs, under the white awning. And if there's an  
18 emergency and we need to evacuate the building, please  
19 follow the staff to Roosevelt Park which is kitty corner  
20 from the building and which also has a lovely Farmer's  
21 Market there today if you want to try to hit that today  
22 at lunch.

23 Today's workshop is being broadcast through our  
24 WebEx Conferencing System and parties do need to be aware  
25 that you are being recorded. We'll make an audio

1 recording available on our website a couple of days after  
2 the workshop, and we'll make a written transcript  
3 available in about two weeks.

4 In addition to our panel discussions today,  
5 we've set aside two opportunities for public comment, one  
6 before lunch for those of you that may have to leave  
7 before the end of the day, and one at the end of the day  
8 after all our panel discussions.

9 During the public comment periods, please come  
10 up to the podium at the center of the room and use the  
11 microphone there so we make sure that the WebEx folks can  
12 hear you, and so that we make sure that your comments are  
13 captured in the transcript. We will take comments first  
14 from those of you here in the room, and then from WebEx  
15 participants and those participating by phone only.

16 When you do come up to speak, it's helpful if you can  
17 give our Court Reporter a business card so that we can  
18 make sure that your name and affiliation are reflected  
19 correctly in the transcript.

20 For WebEx participants, you can use either the  
21 raised hand or chat function to let our Coordinator know  
22 that you would like to make a comment or ask a question,  
23 and we'll either relay your question or we'll open your  
24 line at the appropriate time. For phone only  
25 participants, we'll open your line at the end of each of

1 the public comment periods.

2 We're also accepting written comments on  
3 today's topics until close of business May 29th, and the  
4 notice for today's workshop, which is available on the  
5 table in the foyer, and also on our website, explains the  
6 process for submitting comments to the IEPR docket. And  
7 now I'll turn it over to Commissioner Peterman for  
8 opening remarks.

9 COMMISSIONER PETERMAN: Good morning, everyone.  
10 Hello to everyone here in the room, as well as on WebEx.  
11 Welcome to today's workshop. I'm Carla Peterman, Lead  
12 Commissioner for the 2012 IEPR, as well as Lead  
13 Commissioner for Renewables. Today's workshop on Cost  
14 and Retail Rate Impacts of Renewables is the fourth of  
15 seven workshops that the Commission is doing as a part of  
16 the IEPR 2012, to develop a Renewable Strategic Plan.

17 The outcome of this workshop will be a list of  
18 recommendations that will assist the State in meeting its  
19 near-term and medium-term goals for renewables, in  
20 particular the 33 percent RPS, in the most efficient and  
21 best way possible.

22 This workshop is a complement to what I believe  
23 was our first workshop on Net Benefits for Renewables.  
24 It is important as we work towards reaching these goals  
25 that we identify the ways possible to lower the cost of

1 renewables, as well as increase their adoption amongst  
2 and by various parties in the State. We're also  
3 cognizant that rate impacts are real and we want to talk  
4 about these and, in particular, look for some solutions  
5 about how do we mitigate some of the rate impacts and  
6 transition some of these rate increases over the long  
7 term so that they're acceptable and that energy still  
8 remains affordable.

9           This is an incredibly important topic to the  
10 Commission and to my fellow Commissioners. Chair  
11 Weisenmiller wanted to be here today, but he is  
12 traveling, but sends his regrets. I'll be joined on the  
13 dais at different points by some of my fellow  
14 Commissioners. I also had the opportunity to discuss  
15 this topic with some of my colleagues at the Public  
16 Utilities Commission and their staffs are monitoring this  
17 process, as well.

18           Costs and rates? That's a large topic and  
19 we're not going to cover everything today, so I encourage  
20 you and welcome you to submit more extensive written  
21 comments. We may not touch on all the technologies  
22 today, but all of them are important to us. I will be  
23 reviewing all your comments personally and look forward  
24 to your recommendations and suggestions, so I ask that we  
25 move forward and look forward to hearing from our



1 panelists. I ask that you keep your comments within the  
2 time periods so that we can continue to move forward and  
3 hear from everyone. So with that, let me turn things  
4 back over to Ms. Korosec and thank you to all the staff  
5 now, and I'll say it again later, for your involvement,  
6 as well as the panelists for taking the time today.  
7 Thank you.

8 COMMISSIONER KOROSEC: Thank you, Commissioner  
9 Peterman.

10 Every two years, the Energy Commission prepares  
11 an Integrated Energy Policy Report that covers a variety  
12 of energy topics and provides policy recommendations to  
13 the Governor.

14 In 2010, Governor Brown directed the Energy  
15 Commission to prepare a plan to expedite permitting of  
16 the highest priority renewable generation and  
17 transmission projects. To provide the foundation for  
18 that plan, the Energy Commission developed the *Renewable  
19 Power in California: Status and Issues Report* as part of  
20 the 2011 IEPR, which described the status of renewable  
21 development in California and challenges to future  
22 renewable development. It also described activities  
23 already completed or underway to address those  
24 challenges. The report also established five high level  
25 strategies as the basis for a more comprehensive

1 Renewable Strategic Plan that's being developed under the  
2 2012 IEPR Update Proceeding.

3 As Commissioner Peterman mentioned, today is  
4 the fourth of seven workshops that we're holding as part  
5 of the 2012 IEPR update on topics related to those five  
6 strategies, dates of which are shown here, and the  
7 discussions and input from the workshops will be used to  
8 identify specific near term actions that the State needs  
9 to take to begin addressing the challenges that were  
10 identified in the Renewable Report.

11 The second strategy that was identified in the  
12 report relates to evaluating costs and benefits of  
13 renewable energy projects. Again, as Commissioner  
14 Peterman mentioned, our first workshop on April 12th  
15 covered the benefit side of that equation, and today  
16 we're focusing on the costs, including renewable cost  
17 estimates and drivers, as well as how costs are  
18 considered in utility procurement and in rate design.

19 Our agenda for today begins with a panel  
20 discussion of total cost estimates, projections, and  
21 drivers, which includes presentations by Energy  
22 Commission staff, Aspen Environmental Group, and Black  
23 and Veatch; that will be followed by an opportunity for  
24 public comment for participants unable to stay until the  
25 end of the day; and then we'll break for a one-hour

1 lunch. We'll reconvene after lunch with a panel on cost  
2 considerations in utility procurement and policies to  
3 reduce costs, and then to a presentation by Severin  
4 Borenstein, and a panel on rate design; we'll have  
5 another opportunity for public comment at the end of the  
6 day and hope to adjourn by 5:00.

7           So I'll provide a very brief overview of  
8 information related to today's topics that was presented  
9 in the Renewable Report, which discussed costs mainly in  
10 the context of cost challenges to developers of renewable  
11 projects, but also touched on cost trends and renewable  
12 energy subsidies over time, as well as some R&D efforts  
13 to reduce renewable costs.

14           The Renewable Report included a discussion of  
15 levelized cost studies for renewable and conventional  
16 generation, including some of the limitations of those  
17 studies, levelized cost as the present value of the total  
18 cost for financing, building, and operating a generating  
19 plant over its economic life, converted to equal payments  
20 per megawatt hour. Cost components are grouped into  
21 fixed and variable costs, with variable costs  
22 representing from 50 to 80 percent of the cost for a  
23 combined cycle natural gas plant, while fixed costs  
24 represent the bulk of costs for most renewable  
25 technologies.

1           The Renewable Report compared three sets of  
2   levelized cost estimates for renewable generation  
3   technologies, one prepared by Black and Veatch for the  
4   Renewable Energy Transmission Initiative, which is shown  
5   in green; one developed by E3 for the PUC's Long Term  
6   Procurement Proceeding, shown in blue; and finally, one  
7   developed by the Energy Commission in the 2009 IEPR Cost  
8   of Generation Project.

9           The Renewable Report pointed out that the range  
10   of costs for a technology can be more significant than  
11   the differences in average cost between technologies.  
12   And the levelized costs are not necessarily  
13   representative of average costs because specific project  
14   costs depend on cost components that can vary, for  
15   example, transmission interconnection costs are  
16   different, depending on location, or wind turbine costs  
17   may depend on manufacturer inventory levels.

18          The Renewable Report also acknowledged some of  
19   the limitations of these levelized cost estimates. They  
20   don't reflect cost reductions that we've seen in the past  
21   few years, particularly for solar PV technologies, nor do  
22   they consider time of delivery payments, transmission and  
23   integration costs, for example, although some renewable  
24   technologies like Solar PV and Solar Thermal may have  
25   higher levelized costs than conventional generation, they

1 do produce generation when it's most valuable and can  
2 actually be competitive with conventional generation on a  
3 time of delivery basis.

4           The estimates also don't include DG  
5 technologies, which is something that the Energy  
6 Commission intends to evaluate as part of the 2013 IEPR,  
7 along with making updates to cost driver information, and  
8 reflecting advances in renewable technologies, and I  
9 believe Mr. Alvarado will touch on that at the beginning  
10 of the first panel.

11           Although comparing leveled cost estimates can  
12 be useful in understanding the challenges faced by  
13 renewable developers, it's only part of the story. Other  
14 cost factors like environmental review and permitting,  
15 transmission and distribution interconnection,  
16 integration and financing also affect project viability.

17           The Renewable Report discussed how  
18 environmental and permitting challenges can delay or  
19 jeopardize project development and increase development  
20 costs; environmental concerns can also lead to legal  
21 challenges, causing delays and higher project costs.

22           Compliance with environmental mitigation  
23 requirements can also pose significant costs, for  
24 example, estimated mitigation costs for the 370 megawatt  
25 Ivanpah Solar Tower Project in San Bernardino County were

1   \$34 million. There can also be costs associated with  
2   emission offsets for renewable technologies that have air  
3   quality impacts.

4           DG developers also face permitting challenges,  
5   including complex and sometimes overlapping permitting  
6   requirements. In the Renewable Report, a solar panel  
7   installer in Southern California was quoted as saying  
8   there were 50 different permitting authorities within 50  
9   miles of his office.

10          Varying Codes, Standards, and fees are also a  
11   challenge, with a Sierra Club survey showing that fees  
12   varied widely among municipalities, and even within  
13   municipalities, for projects of the same size; for  
14   example, in Los Angeles, permit fees for 131 kilowatt  
15   commercial solar PV projects varied from zero dollars to  
16   \$46,000.

17          Interconnection at both the transmission and  
18   distribution levels is also a challenge and can be  
19   lengthy and expensive. And there are also costs  
20   associated with integrating variable and intermittent  
21   renewables into the grid, while maintaining system  
22   reliability.

23          And with the economic downturn, it's more of a  
24   challenge for companies to get affordable financing and  
25   we're also continuing to see under-investment in the

1 renewable energy sector, which will affect the  
2 development of next generation lower cost technologies.

3           One effort to reduce the time and cost  
4 associated with environmental review and permitting, both  
5 for transmission and generation, was the Renewable Energy  
6 Transmission Initiative, which identified 30 competitive  
7 renewable energy zones and their corresponding  
8 transmission interconnections and lines, for the most  
9 cost effective renewable generation development with the  
10 least environmental impact. Findings from the RETI  
11 process are being incorporated into the Desert Renewable  
12 Energy Conservation Plan which, by helping developers  
13 choose sites with minimal environmental impact, will  
14 reduce delays and mitigation costs.

15           Many local governments are also helping to  
16 reduce permitting costs by pre-designating areas and  
17 defining renewable development standards in their  
18 counties to reduce permitting roadblocks and, therefore,  
19 delays in project development.

20           The Renewable Report also discussed efforts to  
21 reduce interconnection costs, including the RETI and  
22 DRECP processes which, in addition to addressing  
23 environmental issues, are helping to reduce  
24 interconnection costs by identifying priority areas for  
25 renewable generation and transmission development.

1           The Report also identified the possibility of  
2 allowing upsizing of transmission projects to provide  
3 capacity beyond what is currently needed, which can  
4 reduce the need for costlier upgrades in the future to  
5 accommodate renewable development in those areas.

6           Another suggestion was for local governments to  
7 work closely with utilities to identify project sites  
8 near transmission and distribution infrastructure, to  
9 help reduce interconnection costs to developers.

10          For projects connected at the distribution  
11 level, the Renewable Report discussed fast tracked  
12 elements that are available within each of the State's  
13 interconnection processes, which will help streamline  
14 interconnection of smaller projects and reduce delays  
15 that can add to costs.

16          Also, the Report talked about a KEMA study of  
17 DG interconnection in Europe that provided some insight  
18 into lessons learned there and indicated that, if  
19 Inverters in the U.S. were required to include equipment  
20 that allows utilities to actively manage the Inverter,  
21 interconnection studies could be completed quickly and at  
22 lower cost.

23          Another suggestion from the KEMA Study was to  
24 restrict the amount of DG that could be interconnected to  
25 certain parts of the system, which lowers the risk of



1 backflow and other impacts, and could help interconnect  
2 large amounts of DG at relatively low cost.

3 Other efforts that will help reduce  
4 interconnection study times and costs are the new  
5 Combined Generator Interconnection Process that uses a  
6 cluster approach for studying interconnection requests,  
7 and the new cluster study approach for distribution  
8 connection generators that allocates cost of an upgrade  
9 among all generating facilities in the cluster who  
10 request interconnection.

11 For integration, the Energy Commission, PUC,  
12 and CAISO are continuing to work together to determine  
13 the cost of renewable integration. The Renewable Report  
14 looked at three types of infrastructure that is being  
15 studied to support high levels of integration, energy  
16 storage, demand response, and gas-fired units, and we'll  
17 be talking more about these in our June 11 workshop, but  
18 relative to today's workshop, the Renewable Report points  
19 out that each of these integration options has its own  
20 cost challenges, for example, how to develop cost-  
21 effective energy storage options that can deliver the  
22 necessary services in the timeframes needed, or how to  
23 modify revenue streams for natural gas units that will  
24 need to be appropriately compensated for operating  
25 differently in order to provide integration services.

1           To help address investment financing  
2 challenges, there are federal tax credits and accelerated  
3 depreciation and property tax exemptions that can help  
4 reduce the cost of renewables. As you can see from this  
5 slide, tax benefits can have a significant effect on  
6 levelized cost calculations for various renewable  
7 technologies.

8           Tax Benefits discussed in the report include  
9 the Federal Business Energy Investment Tax Credit, the  
10 Renewable Electricity Production Tax Credit, and  
11 Accelerated Depreciation. Several renewable projects  
12 have benefitted from the allowance under the American  
13 Recovery and Reinvestment Act to convert the Investment  
14 Tax Credit to a cash grant that can offset as much as 30  
15 percent of project costs, and the production tax credit,  
16 which provides incentives for renewable generation is  
17 also helping renewables.

18           In 2005, the U.S. Energy Information  
19 Administration analyzed the effects of the PTC and  
20 suggested that it could increase U.S. installed wind  
21 capacity by more than 500 percent if it continues through  
22 2015. However, the PTC for wind expires at the end of  
23 this year and for solar in 2016, which may affect the  
24 ability of new wind and solar projects to get financing.

25           The Federal Government also offers Accelerated

1 Depreciation to help provide project capital at the front  
2 end of a project, with most renewable energy assets  
3 allowed to be depreciated over a five-year period. A  
4 2009 Lawrence Berkeley National Lab study found that  
5 Accelerated Depreciation can reduce total PV system cost  
6 by 26 percent.

7           To help address shortfalls in R&D investments,  
8 the Energy Commission's Public Interest Energy Research  
9 Program provides funding for projects that reduce  
10 renewable costs by improving technology efficiency and  
11 performance, reducing environmental impacts, and  
12 developing Smart Grid and energy storage options. Some  
13 of the examples shown here include demonstration projects  
14 for new PV, biomass, and wind technologies, as well as a  
15 technology to create additional revenue streams for  
16 geothermal facilities by extracting silica from  
17 geothermal waters for sale to industrial users.

18           In addition to the discussions of levelized  
19 cost and the different cost drivers for renewables, the  
20 Renewable Report talked about cost trends for solar  
21 technologies. As I mentioned, we've seen significant  
22 cost reductions in the past years for solar technologies  
23 and, as global production capacity of PV panels  
24 increases, we're likely to see even greater declines in  
25 cost. The Renewable Report includes this figure, which

1 shows how worldwide panel production has doubled every  
2 two years since 2002, and notes that, each time  
3 production capacity doubles, PV costs decline by roughly  
4 20 percent.

5           Although solar thermal electric and solar PV  
6 were historically thought to have higher levelized costs  
7 than conventional generation, the Renewable Report noted  
8 that, based on recent contract bids, this seems to be  
9 changing. The Energy Commission's Investor-Owned Utility  
10 Contract Database indicates that the majority of solar  
11 thermal power tower technology contracts signed and  
12 pending are below the 2009 market price referent. Also,  
13 while in the past DG projects were considered more costly  
14 due to higher transaction costs and lack of economies of  
15 scale that, too, appears to be changing. At the time the  
16 Renewable Report was published, PG&E and SCE had filed  
17 advice letters with the PUC stating that all contracts  
18 signed under their Solar PV programs were also below the  
19 market price referent.

20           The Renewable Report also noted that future  
21 trends could include additional cost savings that may  
22 occur as a result of cap-and-trade, which are not  
23 reflected in levelized cost estimates.

24           And, to take advantage of these declining PV  
25 cost trends, the Renewable Report suggested focusing on

1 developing the low hanging fruit in the early years while  
2 we're continuing to reform permitting and interconnection  
3 processes, and then take advantage of those cost  
4 reductions and improved regulatory structures in later  
5 years.

6           Finally, the Renewable Report discussed the  
7 perception that renewables are more highly subsidized  
8 than other forms of energy, and noted that a study by DBL  
9 Investors showed that renewable energy has actually been  
10 under-funded relative to other energy sources; this  
11 figure from the DBL study shows the historical average of  
12 annual energy subsidies for oil and gas, nuclear,  
13 biofuels, and renewables. The study also compared  
14 subsidies provided in the first 15 years of each  
15 technology and concluded that renewables have received  
16 less than 10 percent of the funding received by the oil  
17 and gas industries, and noted that the Federal Government  
18 continued to underwrite those industries long after they  
19 had matured.

20           One more thing, although this wasn't included  
21 in the Renewable Report, I wanted to provide some cost  
22 information from the PUC's most recent quarterly RPS  
23 report to the Legislature. The PUC report says that,  
24 from 2003 to 2011, contract costs increased from \$0.054  
25 per kilowatt hour to \$0.133 per kilowatt hour, for

1 several reasons. The IOUs contracted with existing  
2 renewable facilities at the beginning of the RPS program  
3 and, in later years, with mostly new facilities which  
4 require higher contract prices to recover capital costs  
5 needed to develop a new facility. And other reasons  
6 included changes in the mix of technologies, increased  
7 commodity costs and, in some cases, demand exceeding  
8 supply.

9           The PUC Report also noted that bids from the  
10 2011 RPS solicitation which weren't yet available for  
11 inclusion in their report, show lower costs than bids in  
12 previous years and pointed out that contracts approved in  
13 2011 represent contracts that probably began negotiations  
14 in 2009, and since renewables have matured significantly  
15 since then, in future years contract prices could be  
16 lower, still.

17           So that's a very quick summary of the  
18 discussion of cost issues that are in the Renewable  
19 Status and Issues Report. I encourage parties to look at  
20 the full report for additional details. And at this  
21 point, we will move to our panel discussion and I'll  
22 introduce Al Alvarado from the Energy Commission staff as  
23 our Moderator.

24           MR. ALVARADO: Good morning. I'm Al Alvarado.  
25 I'm with the Electricity Analysis Office here at the

1 Energy Commission. I am the Moderator for the first  
2 panel and the focus of today's panel discussion in on the  
3 Cost for Developing and Operating Renewable Generation  
4 Technologies, a discussion about the key drivers for  
5 these costs, and the cost trends, what we may expect as  
6 we move into the future.

7           The Energy Commission has engaged in  
8 calculating the levelized costs for different generation  
9 technologies for a number of years, the last effort to  
10 identify the levelized costs for different generation  
11 technologies occurred in the 2009 IEPR, so our cost  
12 estimates at this point are quite dated and I think  
13 Suzanne might have identified some of those concerns.

14           In developing this range of costs, we had to  
15 consider many variables that go into the calculation of  
16 levelized costs, this involves either the operating  
17 characteristics of the power plant, the financing  
18 elements, even the tax incentives, and each of these  
19 variables of themselves provide a range of uncertainties  
20 that need to be considered to develop the cost estimates,  
21 therefore, as we moved into developing the cost  
22 estimates, there's no single point calculation for the  
23 levelized costs, but rather a range of levelized cost  
24 estimates that was reflected in Suzanne's chart where she  
25 compared our cost estimates to E3, and I believe it was

1 Black & Veatch for RETI.

2           Staff and with the assistance of Aspen  
3 Consultants have developed these costs in the past, and  
4 we've also developed a model that is intended to be  
5 transparent and easy to use for any party that cares to  
6 take the tool and consider different scenarios for their  
7 own calculations, but it also has a lot of our cost  
8 driver information that might be valuable to other  
9 parties.

10           The Energy Commission staff will be updating  
11 the cost drivers for the key generation technologies for  
12 this next IEPR, this effort will be running through the  
13 year. This slide, I know it's very difficult to read,  
14 but this does reflect a lot of the key inputs that we  
15 will be evaluating for each of the generation  
16 technologies, like plant characteristics. We need to  
17 have a good understanding of plant-side losses,  
18 transformer losses, transmission losses, the heat rates,  
19 degradation.

20           Regarding plant costs, we would like to  
21 identify the instant costs, the installed costs, and the  
22 construction period. When we get into variable costs,  
23 you know, that gets into some variables like how many  
24 operators are needed for each plant, and salaries, and so  
25 it really -- we do drill down to a fine level of



1 information based on whatever is available. And the  
2 outputs will provide the levelized fixed cost, the  
3 variable costs, and we also can develop screening curves  
4 to determine how some of these levelized costs may vary,  
5 depending on the capacity factor of some plants, that  
6 could be very significant for some of the technologies,  
7 especially like wind, that is becoming much more  
8 efficient and can operate at higher capacity factors.

9           This is just a snapshot of the range of  
10 levelized costs we calculated back in 2009. As you can  
11 see, the red line is the average cost, but the blue bars  
12 represent really the range of the levelized cost  
13 estimates. And for some of the technologies, these  
14 ranges can be quite wide. The bar is really bound by, I  
15 would say almost a book-end set of variables, you know,  
16 for example, some of the renewable technologies, the  
17 upper bound might be the difference between with and  
18 without tax incentives, or as, say, the capacity factor I  
19 think for this next effort, we would like to focus on the  
20 probabilities of how these range of the cost variables  
21 may actually fall, so we're expecting that our next round  
22 of localized cost should have a much more narrow band of  
23 cost values.

24           This chart is generally our work plan for this  
25 intended goal of having something completed for the early

1 part of the 2013 IEPR that can serve as an input for  
2 further electricity system studies. Where we are right  
3 now is basically the yellow box. We're developing data  
4 requests on the cost drivers, which we're expecting to  
5 receive information from each generation technology,  
6 surveying developers as we've done in the past, which has  
7 been actually quite interesting, we found where some  
8 generation technologies with the very same configuration  
9 can have very very different costs for so many variety of  
10 reasons, many times geographically driven.

11 We do expect to have a preliminary draft of the  
12 cost results for a public workshop sometime this winter,  
13 so this is going to be a major undertaking on the staff  
14 side, and with the assistance of Dr. McCann, who is to my  
15 right. And maybe with this, maybe I can shift to the  
16 panel discussions. We're going to have Dr. McCann  
17 presenting an overview of their prospectus on cost, and  
18 then Mr. -- I'm sorry, John -- Pietruszkiewicz, thank  
19 you, with Black & Veatch will also cover some of the  
20 information that they have based on their own activities.  
21 With that... Unless, Commissioner, do you have any  
22 questions?

23 COMMISSIONER PETERMAN: No questions, I'll just  
24 make an observation that the last time we collected this  
25 data was 2009 and, so, I'll be interested in hearing from

1 the panelists which cost input, which inputs to the  
2 model, the cost generation model, you think might have  
3 changed the most since that period. And, in particular,  
4 where we're focused on the 2013 IEPR, is thinking about  
5 renewables since this has been quite a fast changing  
6 space since 2009. Thanks, Al.

7 DR. MCCANN: And thank you. I'm Richard McCann  
8 with Aspen Environmental Group. We're the lead  
9 contractor on the planning contract which supports the  
10 Energy Commission staff. And, as Al mentioned, we've  
11 been working on the Cost of Generation Model since about  
12 2003 or 2001. And I'm just going to walk through our  
13 overview of how to approach this. Next slide, please.

14 What we have is -- I wanted to go through and  
15 address the three questions that were posed for this  
16 workshop, and just summarizing it, I'm going to discuss a  
17 little bit about what are the effects of the range of  
18 costs in renewables in California, what have been some of  
19 the recent trends, and what are the important regional  
20 differences. And then the second question, what are the  
21 important non-technological factors to consider? And  
22 that may actually be the most important aspect of looking  
23 at this issue. And then, finally, what are the other  
24 important events and trends to consider? And really, I'm  
25 going to focus more on how to frame looking at these

1 issues, rather than the actual values behind that,  
2 because we're going to develop those more as we develop  
3 the cost of generation model, which we should have the  
4 model all put together by this fall.

5           And I think that, to start off, I want to talk  
6 about how we want to develop these assessments for  
7 policymaking consumers, that is, you sitting at the  
8 panel, you're a consumer of what we produce for you.

9           And I think one of the important things is the  
10 importance of perspective, looking at it as a planning  
11 agency rather than as an investor, or looking at it in  
12 some other way, that it's important to keep in mind that  
13 particular perspective.

14           And then, considering the multitude of factors  
15 that affect cost and value; relying on an average or an  
16 expected outcome can obscure the real policy choices or  
17 constraints that you see. So, for example, one of the  
18 things that comes up is the solar tax credit is one of  
19 the salient issues, well, if you take an average of that,  
20 what does that mean? That you have half a tax credit?  
21 You actually have to face -- you're facing a dichotomous  
22 choice in that sort of situation and you need to  
23 understand that range; an expected number is not going to  
24 give you an informative answer.

25           And the second part is, second thing is to have

1 cost presentations that are transparent about the  
2 assumptions so that you can discern what issued you need  
3 to focus on; for example, the expiration of federal tax  
4 credits or other important planning considerations --  
5 locale, regional considerations, financial issues that  
6 need to come up. And those sorts of things need -- you  
7 need to be able to pull those out of the presentations  
8 that are made. Just being told that \$100 a MWH, and then  
9 somebody walking away, doesn't help you at all.

10           And then, finally, understanding the reasons  
11 for why these ranges exist and what you can do about  
12 affecting those ranges, having that kind of information  
13 is very important, so you have to have those ranges  
14 described in digestible pieces with clear delineation.  
15 So, for example, the combinations of factors together  
16 that cause a particular range to occur is an important  
17 piece of information in terms of following the  
18 presentations that are given to you.

19           So there are some principles for comparing  
20 costs that are presented here and often they're jumping  
21 around between different numbers that are presented in  
22 these various workshops, and trying to be clear about  
23 what you're looking at is important for understanding  
24 those cost presentations. There's a difference between  
25 value and cost, and there's also a difference between

1 market price and cost. The value and the cost for  
2 renewables is not necessarily the same. So, for example,  
3 if you have a technology that can load follow, so, for  
4 example, the Geysers Geothermal Plants can often load  
5 follow vs. a technology that is relatively intermittent  
6 like Solar PV, there's a certain value, a difference  
7 between those two, so you can't directly compare the two  
8 costs of those technologies, you have to understand what  
9 the underlying bundle of attributes that you're getting  
10 is from those two different technologies. So, for  
11 example, geothermal has CO<sub>2</sub> emissions associated with it,  
12 whereas Solar PV does not, so each of them presents  
13 tradeoffs in what you're getting.

14           Market prices that you see in the PPAs can  
15 diverge from the costs, the underlying costs -- for a  
16 variety of reasons. It can have to do with the fact that  
17 the term of the contract is different than the expected  
18 life of the facility. It can have to do with trying to  
19 forward price into an industry in order to gain a  
20 foothold. So the market prices are not always indicative  
21 of the costs, unless you're in a very stable market, and  
22 we're certainly not in that situation right now.

23           And then you have to be careful about moving  
24 from project specific terms that really are designed for  
25 investment purposes to broad planning assumptions, so

1    that what somebody may describe as the terms and  
2    conditions for a particular project may not fit for a  
3    broad set of projects that you're looking across.  And  
4    that also gets back to the question about ranges, but  
5    you'll hear people saying, "Oh, no, it doesn't cost that  
6    much because that Project X costs something different,"  
7    well, that may not be true for the general situation.

8                   And so it's just getting back to distinguishing  
9    value, cost and market price and looking at the  
10   presentations that are getting to you.  Value really  
11   depends on what are the needs of the system, which is not  
12   only just the utility system, but the environment or  
13   other particular things that you're looking for, economic  
14   benefits, affordability, costs can be expressed in  
15   different dimensions and is really only part of that  
16   value equation.  And market prices and contract prices  
17   are set by the market and by regulatory conditions of the  
18   moment so that things can change within a few years if  
19   the underlying conditions have changed.

20                   In terms of Valuation and Multiple Attributes,  
21   it used to be pretty simple to look at capacity and  
22   energy, well, things have changed quite a bit.  So, for  
23   example, in Los Angeles, they have a problem with  
24   inertia, that they have to be able to keep enough power  
25   going in order to maintain the frequency level in the

1 region. Well, it takes a heavy turbine to do that. It  
2 used to be that all power plants had heavy turbines in  
3 them, now many of the new technologies don't, so that  
4 you've got a problem that you now have another dimension  
5 that you have to consider in your planning process. And  
6 there's additional dimensions that you have to consider  
7 among those attributes. So a megawatt may no longer  
8 equal a megawatt, and that's an important consideration  
9 in looking at these. You've got to really think about  
10 what it is, what are the bundled attributes that you're  
11 trying to compare. And it really comes down to having a  
12 full understanding of the question that you're asking in  
13 terms of how you're trying to move forward. Next slide,  
14 please.

15           Moving on to market prices, as I mentioned  
16 before, the contract and market prices are set basically  
17 by the negotiations between the developers and the buying  
18 entities, the LSEs or utilities. And those can reflect a  
19 whole lot of different pricing strategies that are going  
20 on in the market, both by product suppliers, by the  
21 developers, and then the utilities have their own  
22 responses to various pricing strategies as to how they're  
23 trying to move the market.

24           And then you have different market segments,  
25 you have a long-term market, you have a real-time market,



1 one of the things that is always interesting is the CAISO  
2 puts out a report that says every year that combined  
3 cycle plants can't make it financially because they can't  
4 make enough in the real-time market. Well the real-time  
5 market isn't where those plants are trying to make their  
6 money, it's a residual market, so they're just trying to  
7 make some extra money in the real-time market. They make  
8 it in the long-term market and we don't always see the  
9 prices in the long-term market. We do expect market  
10 prices to converge with costs over time, but the system  
11 valuation can really affect that trend of how the market  
12 prices move towards cost.

13           And so the bottom line is that cost measure is  
14 affected by many factors, that technology costs can be a  
15 bundle of individual components, so, for example, Solar  
16 PV is really -- it's made of a panel, which everybody has  
17 heard about how panel costs are falling substantially,  
18 but the balance of system is another large component,  
19 it's probably more than half the cost now -- that cost  
20 has been relatively stable. Wind is affected a lot by  
21 local conditions, by siting and various things, and it's  
22 turned out that in some cases the capacity factor  
23 estimates have been rather optimistic. There are  
24 differences in capacity factor, peak megawatt output,  
25 your intermittency assumptions, and what are the emission

1 rates from different technologies?

2 Another one that really has a lot of effect is  
3 the financing terms. We see that, for example,  
4 differences in debt, assumptions about debt terms, can  
5 have very large effects on the final costs that we see  
6 for these projects; and trying to get that kind of  
7 information in a general way and describing it is  
8 something that is going to be very important for us.

9 And then, it's already been alluded to quite a  
10 bit about the tax issues so far, a continuation of the  
11 State Property tax is, in fact, one of the issues that  
12 probably is before the Commission, in terms of  
13 recommendations to the Legislature.

14 And then there are other issues like the  
15 effects of sales tax, which local counties are -- that is  
16 a very large benefit to local counties is the sales tax  
17 from solar projects, how are those costs determined and  
18 taxed? And then how are they shared among the various  
19 public entities is an important question.

20 So there are a number of policy factors that  
21 are likely to drive costs for different technologies.  
22 This is just talking at the utility scale, is a whole  
23 other set again for DG. There's a question about  
24 eligibility for the RPS, is it in-state or out-of-state?  
25 And that really affects local conditions vs.

1 interconnection costs, that's really the bottom line on  
2 that issue.

3           How are the GHG reduction credits calculated?  
4 How are the allowances disbursed? And how are they going  
5 to roll through to the ratepayers is, again, another  
6 important question. The DRECP is looking at local  
7 planning issues and, again, that really is going to  
8 affect the cost substantially, whether we have solar or  
9 wind dominating our RPS is going to be affected by that.

10           And then, finally, a real important question on  
11 the solar side is the sustainability of the Chinese solar  
12 industry, and then the recent trade sanctions that have  
13 been imposed by the U.S. of adding about 30 percent to  
14 the tariff cost on imports, and then they're also  
15 considering import tariffs on wind turbines, as well,  
16 from several countries.

17           So with that, I will conclude and if you have  
18 any questions or comments, I can answer them for you.

19           COMMISSIONER PETERMAN: Thank you. With  
20 regards to the Cost of Generation Model, you've noted  
21 that there are obviously a range of factors that can  
22 drive different technology costs, so where is the data  
23 coming from, then, to populate that model? Is it survey  
24 of existing projects? Expectations about future ones?

25           DR. MCCANN: It would be mostly surveys of

1 existing projects, to begin with. It would be -- we're  
2 using people who have knowledge of existing contract  
3 terms and financing terms in order to help develop those  
4 cost estimates. As it was noted on solar costs, the cost  
5 trend has really been following the 80 percent learning  
6 curve trend, that is, is the costs fall 20 percent for  
7 every doubling; well, it gets harder and harder to double  
8 production as production gets very large. So we're going  
9 to see a leveling out of panel costs. The issue there  
10 will be what happens with the Chinese industry with the  
11 changes that are going on in that market. But we're  
12 basically looking around at different sources from people  
13 that we have -- we're going to try to make our  
14 information as transparent as possible so that it's  
15 really apparent where we got our information from.

16 COMMISSIONER PETERMAN: Thank you. And I would  
17 appreciate hearing from you in your comments, or from  
18 other panelists, or audience members, at some point about  
19 which of these factors you see as most significant, as  
20 well as the range most uncertain, or wide, if you will.  
21 And particularly by each technology class.

22 DR. MCCANN: Right. And I think that it's  
23 really -- the largest uncertainties that we're seeing are  
24 really in the non-technology area, some of it coming from  
25 policy choices that will be made by the State.

1               MR. ALVARADO: Jon, how about if you touch on  
2 your presentation and then maybe we can have some  
3 broader questions for both of you?

4               MR. PIETRUSZKIEWICZ: Sure. Good morning. My  
5 name is Jon Pietruszkiewicz. I'm from Black & Veatch,  
6 Project Manager within their Energy Division. I thought  
7 it would be useful to introduce the subject by talking a  
8 little bit about where the data comes from for costs that  
9 we project.

10              So, basically, we are an engineering  
11 procurement instruction contractor. We design and build  
12 facilities for others and so we sell our services and we  
13 sell complete projects, so we are a primary source of  
14 data. We don't go around and collect data from others,  
15 but we bid into the marketplace with actual costs of  
16 projects.

17              We also have another business, which is a  
18 consulting business, which we do independent engineering  
19 for banks and other institutions that are involved in the  
20 development or the financing of a project, and so we see  
21 the end costs, the real end costs of projects, and we  
22 factor that into our knowledge base. And then, of  
23 course, we use all of that data, along with other data,  
24 to perform studies and do things to make models and  
25 assessments for industry and for government

1 organizations, and so during that we do additional  
2 literature search and things to compare our cost data to  
3 actual price and value data, and so we have a really good  
4 understanding of what some of the drivers are, and so  
5 I'll talk a little bit to that.

6           Before I talk to those, though, I just wanted  
7 to highlight the kinds of ranges that we were seeing in  
8 the costs. And as I pointed out, these are primarily  
9 data that are coming from projects that we're involved  
10 with designing and building, and so they do represent the  
11 costs of projects, as opposed to the prices or values of  
12 projects. There's also a range of capacity factors I've  
13 shown here, just to demonstrate that different  
14 technologies perform differently on the grid and in the  
15 marketplace, and you'll notice, one of the changes we  
16 made since we presented this data previously, is we've  
17 bumped up the capacity factor that gas turbines are  
18 operating at. They used to be, well, back when I started  
19 my career, gas turbines were five to 15 percent capacity  
20 factor, then they moved up and maybe they were 20-25  
21 capacity factors, but now we're seeing the need to try to  
22 operate with low price gas and a low capital cost gas  
23 turbine at maybe up to 50 percent.

24           Similarly, with combined cycles, I can remember  
25 back in the early part of my career, natural gas combined

1 cycles were all intermediate duty, they were all in the  
2 30 percent range capacity factor, now they're in the 70's  
3 or 90 percent range.

4           So when you apply those capacity factors to the  
5 capital cost ranges, you can see some interesting things  
6 happen with the overall cost of electricity. And so we  
7 have to recognize that operational characteristics change  
8 with time and that changes the ultimate value and price.

9           The other point I want to make with this is  
10 that all these costs are basically for projects that --  
11 this first chart, 2010-2011 costs, this is a range of  
12 costs that we saw over that timeframe. When we go to the  
13 next slide, we'll seen an additional bumping of the range  
14 just ever so slightly up and down on a few technologies,  
15 that represents what's happened in moving one or two  
16 years out to basically the now, the 2012 timeframe. And  
17 these are for projects that basically are being initiated  
18 in 2012, and might be built in 2013 or beyond. A solar  
19 plant might be built six months from now, but a biomass  
20 plant might be built two years from now. So there's a  
21 little bit of difference in how you look at the costs.

22           I've also added a column here to show the range  
23 of levelized cost, and when we start showing the  
24 levelized costs, then we have to factor in some of these  
25 things we've already been talking about. Somebody had to

1 make some financial assumptions that go in here, and I  
2 can tell you that these levelized cost ranges are just  
3 ever so slightly different from previous ones we put out  
4 there, and probably because primarily the financial  
5 assumptions in the calculation of change to reflect the  
6 current development marketplace. People aren't borrowing  
7 money for the same rates they were borrowing at in 2008.

8           Basically, another factor I'll get to in a  
9 second, but when you look at costs and the steep change  
10 in costs, everything peaked in 2008, and everything  
11 peaked just before the financial crisis. I mean,  
12 interest rates peaked, real estate peaked, commodities  
13 peaked, you name it, it peaked. And so then things, when  
14 they recover, they recover at different rates and they  
15 recover depending on the build-up. You take copper as a  
16 commodity, and you turn copper into wire, and then you  
17 turn wire into a motor, that's a time curve that gets  
18 reflected in costs and how they recovery. So we've seen  
19 basically a flattening of the costs since 2008, and  
20 little deviations due to other things like the  
21 technological change; in wind, we've seen a little bit of  
22 technology change that allows operation at higher  
23 capacity factors and the same wind speeds as previously.  
24 In PV, we've seen bigger, more dramatic changes due to  
25 technology, and so I'll get to that in just a second.



1           This next slide is the overall ranges that were  
2 reflected by these financial assumptions that we're  
3 making, and the midpoints of those capital cost ranges.  
4 So I haven't even gone to the extremes with the capital  
5 costs in calculating these LCOE ranges and you can see  
6 there's quite a bit of overlap between technologies. And  
7 I will talk about things that drive those basic capital  
8 costs which expand those ranges and turn them more into  
9 prices or values.

10           The next slide is just a curve, just to  
11 demonstrate the -- go ahead and click through this -- we  
12 show wind first, and then solar, and then natural gas.  
13 We show natural gas at two different fuel prices here.  
14 And the purpose of this slide is just to demonstrate that  
15 these technologies do operate at different capacity  
16 factor ranges, and they do have curves that deviate due  
17 to that capacity factor, alone, but we have not included  
18 the wide bands that would be there if you put the total  
19 LCOE band for the previous slide, including all the  
20 financial assumptions and things, so you get a lot more  
21 overlapping if you did that.

22           So the next slide, basically I wanted to answer  
23 your question, how costs changed over the last five  
24 years. I talked about the fact that everything peaked in  
25 2008; I also want to mention that competition has a large

1 impact and the energy marketplace right now is dominated  
2 by the fact that lower and lower priced natural gas is  
3 becoming available on the marketplace and fairly cheap  
4 technologies are available to burn that natural gas, so  
5 that creates a little price comparison point that the  
6 marketplace is bidding against, and since all the  
7 technologies are competing, that has affected the price  
8 to some extent, to the extent that margins can change.

9           Also, there's a second factor that's very  
10 important over the last five years, which is the  
11 technological improvement. I just mentioned that PV is  
12 at a very steep decline dominated both by the  
13 technological improvement and by the fact that the demand  
14 for PV has changed based on the European demand and the  
15 change in policy in Europe. And so it's interesting that  
16 a change in policy in Europe can change the global  
17 demand, which changes the price in California. So we  
18 have to recognize we're operating in a global  
19 environment, global marketplace, but we have the little  
20 deviations that are caused by the technology changes, and  
21 the technology improvement.

22           I also want to mention for biomass, that's a  
23 very fuel specific, you know, biofuels are very specific  
24 and site specific, so the costs tend to be more specific  
25 in order to use that fuel source, and so the ranges in

1 biomass costs are more dominated by the availability of  
2 the fuel and the site.

3           Geothermal, again, that's more stable and more  
4 resembles a fossil technology, something that has been  
5 around for a long time in the marketplace, however, we're  
6 starting to tap new geothermal resources that are a  
7 little lower quality, we're also finding that, again,  
8 natural gas comes to play when you're talking about  
9 geothermal because 40 percent of the cost of a geothermal  
10 project might be the well drilling, and well drilling  
11 costs are dominated by the competition between drilling  
12 rig prices that are being used for natural gas vs.  
13 geothermal. So, again, market competition comes to play  
14 in determining the cost of geothermal, to some extent.

15           Lastly, solar thermal, a few years ago we  
16 expected to see many more solar thermal projects, we had  
17 people -- entry level projects bidding quite low into the  
18 marketplace, and then we moved basically to have several  
19 of those projects fall victim to competition, and we saw  
20 that, in order to achieve what they needed to achieve,  
21 their cost had to go up. So we perceived, Black & Veatch  
22 at least perceives, that the price of solar thermal is  
23 increasing at this point in time.

24           What are the key drivers and are they unique to  
25 California? Basically my sense is that the key drivers

1 are not unique to California. What is unique to  
2 California is that California has more of these renewable  
3 resources available here, and so at times those are  
4 competing with each other more significantly than they  
5 are in other places in the country or the globe. But the  
6 drivers tend to be basically technology development  
7 drivers, R&D-type drivers, commodity pricing, as I  
8 mentioned before, the big drop after 2008, the  
9 competitive landscape, and the margins that result from  
10 that, and then the site-specific things are the site-  
11 specific technologies. And then, of course, the  
12 incentive availability determines the overall  
13 characteristics of how that technology competes in the  
14 marketplace for the ultimate price and value. So, site  
15 availability and technology development will drive the  
16 long-term market, incentives will drive the short-term  
17 market.

18           What R&D effort could reduce balance of system  
19 costs? I would say that varies much by technology, but I  
20 see distributed generation impacting things much more so  
21 than it has up to now, and net zero microgrids, the  
22 impacts of AB 32, business rules that change the status  
23 quo, those are all things that are going to impact  
24 distributed generation in the ultimate cost and price.

25           I want to emphasize here, going backwards a

1 little bit, but when you go from the costs, Black &  
2 Veatch's data, to a capital cost that more resembles a  
3 market cost, one of the biggest factors are the owner's  
4 costs, which can represent 15-35 percent of the project  
5 costs, and those include things like project development,  
6 interconnection, spare parts, owner's project management,  
7 start-up of construction support, taxes, advisory fees,  
8 owner's contingency financing, and there's a whole sub-  
9 list under each of those bullets, and so you have 40 or  
10 50 things that can impact owner's costs, and they will  
11 affect the overall price, and that's why when you go out  
12 and poll developers on their project sites, they will  
13 have prices that vary quite a bit from the costs.

14           The last slide, what factors can change cost  
15 projections, I just want to point out that public policy  
16 is king, public policy impacts demand, and I just  
17 mentioned that policy in Europe could impact demand in  
18 the U.S. which impacts prices in the U.S., the overall  
19 market price. Changes in distributed PV will have the  
20 most impact in the near term, changes in technology R&D,  
21 net metering laws, community microgrid rules and  
22 regulations, net zero laws, all will change the landscape  
23 and move us towards a different competitive marketplace.

24           And that's it.

25           COMMISSIONER PETERMAN: Great. Thank you, Jon.

1 A couple of questions. I appreciate your presentation,  
2 although I would say policy is "queen."

3 [Laughter]

4 But policy is taking its time. So I just wanted to go to  
5 your second slide showing the capital costs and energy  
6 costs and I noted in the footnote there that you note  
7 that transmission cost and system integration costs are  
8 excluded.

9 MR. PIETRUSZKIEWICZ: Yes.

10 COMMISSIONER PETERMAN: And this is key  
11 question that the Commission is considering, about what  
12 are the all-in costs, and particularly we are concerned  
13 about the cost of integration, so I was wondering if you  
14 had any comments on that, and also I would be looking to  
15 the utilities to offer any comments they have about the  
16 range and integration costs they might see across  
17 different technologies. And also, related to that  
18 question, you know, thinking about the impact of the  
19 lower natural gas costs now on integration, we're using  
20 natural gas primarily as our integration resource now,  
21 and I was wondering if that's now, then, the lower cost  
22 of reducing integration costs, or if that's  
23 counterbalanced by the degree of integration that is now  
24 needed, which may be increasingly more expensive.

25 MR. PIETRUSZKIEWICZ: Yeah, I guess what I

1 would say is, to answer your second question, the  
2 integration of cheap natural gas is helpful, and also the  
3 fact that we're only initiating the curve as far as  
4 integration requirements are concerned, is helpful, so we  
5 have some time to learn and we are learning along the  
6 way, and technology will develop and technology will  
7 change along the way, and begin to serve that marketplace  
8 as it evolves.

9           So I guess, as a personal opinion and not  
10 necessarily a corporate position or anything, I would  
11 just say that, in my experience, I think we worry a  
12 little too much about integration. I think it will sort  
13 of take care of itself as it all works out and there's  
14 some balance that occurs in the marketplace, and the  
15 balance between distributed and central generation is  
16 another key factor that will influence that. So I think  
17 there's a whole lot of things competing with each other,  
18 they all turn into market forces, and those forces will  
19 all determine what the ultimate things are that we need  
20 to do to accomplish integration and to pay for  
21 integration.

22           And then, what we learned in some studies I've  
23 been associated with recently is that business rules will  
24 have a lot bigger role to play as grid operators change  
25 their business rules in order to take advantage -- as

1 somebody mentioned earlier, the idea that, let's say,  
2 natural gas plants might have the capability to do some  
3 integration things, but they might not be paid for those  
4 services today, so maybe we need to change the business  
5 rules, so we pay for those services, we take advantage of  
6 technology, and then that creates a different marketplace  
7 than we had before that. And so I think those are all  
8 factors.

9 I think, back to the first question with  
10 respect to including transmission cost, the reason that  
11 Black & Veatch doesn't include transmission cost upfront  
12 is because they are something that influences you  
13 downstream, and so if you have a 10-mile transmission  
14 interconnection vs. a 150-mile transmission  
15 interconnection, because you chose one site or another  
16 site, and you chose one voltage or another voltage, and  
17 you chose an existing substation vs. not having an  
18 existing substation, those are all factors that can  
19 influence you and increase the band of what we're trying  
20 to show as the cost. So we recognize that the utilities  
21 have a tough time because they have people putting  
22 projects in all of these difficult places, making the  
23 choices, but then there has to be a cost associated with  
24 that and it has to be individual and, again, another  
25 personal opinion, I think over time I'm thinking we'll



1 get away from that specialization of pricing that, and  
2 that just in order to facilitate the massive number of  
3 projects that we need to move forward, we'll start moving  
4 towards more standardized costs and procedures, and a lot  
5 of people would find fault in that because of the  
6 deviation that creates; one project has a different cost  
7 than another, but it has the same price because you've  
8 created a market rule to do that. I just think we'll  
9 move there out of convenience over time to more  
10 standardize what the interconnection costs will be, make  
11 it more predictable, and make the marketplace more  
12 predictable. But I think that's a debate that hasn't  
13 been held yet.

14 COMMISSIONER PETERMAN: Thank you. And we just  
15 had -- I think it was last week -- a workshop on  
16 interconnection and thinking about how with planning we  
17 can address some of the challenges there.

18 I wanted to touch on financing costs. At the  
19 Governor's Conference on DG last year, it was raised by  
20 some of the attendees that it's more expensive to get  
21 financing, for example, for biomass facilities than, they  
22 felt, for solar PV. And the reasons raised were the  
23 financing industries', you know, comfort with the  
24 technology and factors like that. And I was just  
25 wondering if you could talk to that point, if you've

1 observed that?

2 MR. PIETRUSZKIEWICZ: I would expect that to be  
3 true, and I think it applies to other technologies, as  
4 well. The faster a technology is moving, the more  
5 projects that are happening, the more experience that  
6 exists, the better the comfort levels are. And some of  
7 these issues get addressed and dealt with, and then the  
8 costs can come down because there's lots of competition.  
9 Bu there's a lot fewer biomass projects out there, there  
10 are a lot fewer geothermal projects out there, so I would  
11 expect financing costs and uncertainties associated with  
12 the degree of knowledge that's available for those costs,  
13 to be more problematic for those. So I think the faster  
14 that things are changing, the more projects that are  
15 happening, the more learning that has to go on, the more  
16 that facilitates a marketplace that operates correctly.

17 COMMISSIONER PETERMAN: Great. And just one  
18 more question, and then if Richard has any responses to  
19 the questions I've asked, as well. So on one of your  
20 slides, on slide 8, you touched upon margins that result  
21 from the competitive landscape, and I'm wondering if you  
22 have any information to share about relative margins  
23 across some of these industries, particularly relative  
24 to, say, natural gas facilities which have been with us  
25 longer.

1           MR. PIETRUSZKIEWICZ: I don't monitor the  
2 margins of specific things, but I would just remind us  
3 all that the ultimate margin of a project bidding into a  
4 private power marketplace is much different than the  
5 margins that are back at the entry level of the piece of  
6 equipment, or the individual commodity, or the labor, or  
7 whatever it is that are all the things that build up the  
8 price of that technology. So while solar PV module  
9 margins might be changing drastically, depending on  
10 policy and other factors that might not be the biggest  
11 impact at the end of that chain. At the end of the  
12 chain, it might be more financing assumptions and the  
13 things that the developer has to deal with to create the  
14 overall margin that's built into that project. So it's a  
15 very difficult thing to comment on.

16           DR. MCCANN: Yeah, just to comment on a couple  
17 of the questions. In terms of the integration costs,  
18 they are important by technology, but one of the first  
19 things that has to start is to understand -- have a  
20 clearer understanding of what the current integration  
21 costs are that are in the system, and that hasn't always  
22 been highlighted in the studies that have been done, and  
23 from what I've seen of current load following  
24 requirements that on the existing system are actually  
25 pretty substantial, so that the marginal increase is not

1 as large as might be originally portrayed. And along  
2 those lines, the studies that have been done are showing  
3 steeply declining capacity factors for the fossil fuel  
4 plants, for example, on the combined cycle plants going  
5 from current 60 to 70 percent in California down to 40  
6 percent. And that will greatly affect the cost of both  
7 just delivering gas-fired power, but also the integration  
8 prices that they might charge, they're going to have to  
9 be more reliant on capacity or fixed price terms in order  
10 to deliver those kinds of services, because they won't  
11 have the energy sales to maintain that. In addition, one  
12 of the red flags is what will happen with coal plants  
13 because they also showed steeply declining capacities  
14 down to 60 percent, and it's going to take major capital  
15 additions in order to allow coal plants to run at those  
16 low capacity factors, and if that happens, I think  
17 there's going to be a greater impetus to retire those  
18 coal plants. That's going to change your whole system,  
19 and that question really hasn't been addressed either in  
20 those sorts of questions, and then there's also a  
21 question of gas deliverability to natural gas plants, can  
22 you deliver gas in the short space that you need to  
23 deliver given our current gas distribution system, and  
24 that's another question that we haven't really addressed  
25 in the integration component.

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1           In terms of transmission costs, you might be  
2 looking for zones, zone pricing in terms of distance, or  
3 something along those lines, but, as Jon mentioned,  
4 transmission costs are really highly location-dependent.  
5 And I think that that's -- having a clear understanding  
6 of the transmission costs and being able to tell  
7 developers and tell utilities where to focus based on  
8 those might actually be a really important piece of  
9 information that comes out of the Commission.

10           And then, finally, just talking about the  
11 margins, one of the things is that we can look at other  
12 industries like aerospace and computer technology to look  
13 at how price trends have continued over time, the silicon  
14 panel price trends follow what happened with memory  
15 chips, and so we can expect similar types of experiences.  
16 Now, the question is, will we get similar technology  
17 leaps like we did with memory chips and panels? You  
18 know, our hard drives are going to be gone in five years.  
19 What can we expect? What can't we see down the road  
20 that's going to happen? So I think that's going to  
21 really affect those.

22           COMMISSIONER PETERMAN: Thank you for those  
23 comments, in particular some of the comments you made  
24 around natural gas plants. At our June 11th workshop,  
25 we're having a panel on natural gas plants for

1 integration, and particularly looking at some of the  
2 issues related to maintaining Line Pack, and having the  
3 available fuel if you're having these reduced capacity  
4 factors.

5 DR. MCCANN: So I'll make a pitch for Katie  
6 Elder to be on that panel, who is my colleague at Aspen,  
7 who particularly -- I raise that issue particularly for  
8 Katie, and she has really looked into this question. I  
9 think she will have some useful insights into that.

10 COMMISSIONER PETERMAN: Thank you. Well, I  
11 know Ms. Elder to be an expert in all things gas, and so  
12 I will look forward to her involvement. Thanks, Al,  
13 those were all my questions.

14 MR. ALVARADO: Okay, I have one question.  
15 We've discussed the variability of some of these key cost  
16 drivers, which ends up resulting in, in some cases, a  
17 pretty wide range of levelized cost estimates. Is there  
18 any sort of, well, I guess in one part, any key drivers  
19 and possibly any policy recommendations that might sort  
20 of tilt the field so a developer would end up realizing  
21 some of the lower cost ranges -- for any investment  
22 decisions?

23 MR. PIETRUSZKIEWICZ: Well, clearly there's  
24 always policies that can be implemented to affect  
25 anything, so if we go through my long list of owner's

1 costs, you have things that impact property taxes, you  
2 have things that impact the cost of financing, you have  
3 things that impact the initial capital costs, so there's  
4 a lot of policy changes that can be made. That's part of  
5 the complexity of evaluating costs, and evaluating  
6 changes in costs. We indicated that the wind tax credit  
7 is going to go away and what is that going to do to the  
8 marketplace? And what is that going to do to demand?  
9 And what is that going to do to the costs? So again,  
10 it's an easy and a difficult question to answer because  
11 there's so many layers involved.

12 DR. MCCANN: We think about factors that are at  
13 the hands of the government control, the technology cost  
14 itself is pretty much out of the hands of the State and  
15 Federal Government at this point, most of the research  
16 has been done -- I mean, there's going to be some  
17 underlying research that may lead to particular  
18 technological leaps, but the steady trends are basically  
19 -- they're already being pushed by the private market.  
20 And to the extent that there is a procurement, a  
21 mandatory procurement of renewables, that will drive  
22 that. But the three levers that I can think of, in  
23 particular, are of course taxes and tax credits, which  
24 we've talked about and I'm not going to go into depth on  
25 those because everybody pretty much knows about those,

1    although there is the question of treatment of property  
2    taxes and then there's also an additional question about  
3    sales tax questions, and that really affects the sales  
4    tax and it particularly affects local governments.

5           The second one is about environmental  
6    compliance costs and, so, for gas plants it's mostly air  
7    quality issues, but for the renewables, it's what you  
8    have to do on the land that is really the footprint  
9    effect, the mitigation, where you're putting those  
10   particular plants, and relative to the rest of the power  
11   infrastructure. And so those particular environmental  
12   compliance costs may -- it may require some deep review  
13   of those costs, of where you're trying to head with  
14   various issues. And ultimately there's also a tradeoff  
15   in terms of the environmental goals, there may be a  
16   tradeoff in the environmental goals that we're trying to  
17   achieve in different ways. It's unlikely that we can  
18   achieve all of the goals that we want with putting solar  
19   PV on every rooftop, that's just not going to work. So  
20   we're going to have to look at other sources and think  
21   about those tradeoffs.

22           But the other thing that really hasn't been  
23   touched on much, but is actually really quite important,  
24   is the terms of the PPAs, the debt, as I mentioned, for  
25   example, we saw the debt terms are actually quite --



1 really affect the final costs for these projects. Those  
2 are actually driven by lenders' perception of what the  
3 contracting terms are, and what they can expect to get  
4 out of the power plants, power plant developers. So  
5 that's just one example and I think that having a close  
6 review of that in terms of how you want to encourage  
7 ultimately lower owner costs, as Jon has mentioned, being  
8 very cognizant of that, I think, is really one of the key  
9 components of how the Energy Commission and other State  
10 agencies can affect the cost trends.

11 COMMISSIONER PETERMAN: Well, I think we find  
12 ourselves in a very unique position of actually having  
13 time for questions for our panelists, as well as  
14 comments. So I'd like to suggest that, if there's anyone  
15 first here in the room that either wants to ask a  
16 question of the panelists, or wants to comment on any of  
17 the questions that I raised -- Steven Kelly is going to  
18 stand up, go for it -- wants to comment on the questions  
19 I raised, or just any of the facts they just heard,  
20 welcome.

21 MR. KELLY: Thank you, Commissioners and panel.  
22 Steven Kelly with the Independent Energy Producers  
23 Association. And I have a question about the comparison  
24 of costs, the capital costs, across technologies. And I  
25 appreciate that graph had showed the comparison across

1 the renewable technologies, and then one of the  
2 technologies was the gas, and I recognize in the  
3 footnotes you said that we're excluding the integration  
4 costs of transmission. But my question was, how are you  
5 proposing to treat fuel costs? Renewable investment is  
6 long-term, as you had indicated, 25 years, and I was  
7 curious to know how the long-term fuel costs are used in  
8 the comparisons across the various technologies.

9 DR. MCCANN: In the cost of generation model,  
10 we use the price forecasts that the Energy Commission  
11 produces for natural gas fuel prices, but we also have,  
12 again, used a range there, a high and a low range --

13 MR. KELLY: Is that going to be reflected in  
14 the capital cost picture that you present there?

15 DR. MCCANN: Jon presented that picture of  
16 their costs, and I don't know -- I can't answer for him  
17 how he included, but I believe that he probably included  
18 full operating costs in that cost comparison because he  
19 was including a dollar per megawatt hour comparison.

20 MR. PIETRUSZKIEWICZ: Yeah, so what I would say  
21 is that every quarter Black & Veatch updates its market  
22 forecast and in that market forecast, we have all the  
23 fuel prices and we update that, so then when we do a  
24 levelized cost of electricity calculation, we do it with  
25 whatever the fuel forecast is at that point in time. And

1 as things drop dramatically like, let's say, between 2008  
2 and now, there's been, for example, gasses have a huge  
3 decline and most people are predicting a lot flatter gas  
4 prices for the future than they were predicting in, let's  
5 say, 2008. So those kinds of analyses and decisions get  
6 factored into these calculations. But, again, those are  
7 assumptions and those are assumptions that get reviewed  
8 at every level, and it depends on who is making the  
9 calculation what assumption they want to use.

10 MR. KELLY: But the presentation of capital  
11 costs will include kind of the avoided fuel costs over a  
12 long term, for like wind vs. natural gas?

13 MR. PIETRUSZKIEWICZ: Well, capital costs do  
14 not include fuel costs, levelized cost of electricity  
15 calculations do include fuel costs. So in my charts,  
16 there are different columns for those things.

17 MR. KELLY: Okay, thank you.

18 MR. KLASSEN: I'm Rusty Klassen, Tensleep  
19 Advisory. My question follows on to this, but at a  
20 slightly different level, which I appreciate your  
21 willingness to consider, and obviously you have. And  
22 that is the question of trade policy in relation to fuel  
23 cost. There is an incredible sort of corona of optimism  
24 around gas cost, which myself, I don't find supported in  
25 any history. And so, with China and India developing an

1 appetite for everything we have demonstrated as useful in  
2 ordinary life, I wonder how you're going to reflect that  
3 as a financial projection in terms of how the United  
4 States trade policies restrict the competition for this  
5 presently low cost asset, in relation to the question of  
6 how we price the static production capacities of solar  
7 and other sort of long-term reliability elements.

8 MR. ALVARADO: Well, I think throughout the  
9 whole IEPR, we do engage in analysis of very different  
10 components of the energy system and one will be the fuel  
11 sector, and I'm not the fuel expert here, but I know that  
12 they have evaluated numerous world factors that will be  
13 reflected in the price of natural gas, at least. And for  
14 the cost evaluation for generation, we are one of the  
15 users for those forecasts. So we at least do try to  
16 capture some of those ranges of uncertainties associated  
17 with the fuel costs.

18 COMMISSIONER PETERMAN: I would also just  
19 comment quickly, to follow-up on Al's point, before you  
20 go, because I also work on natural gas issues here at the  
21 Commission, that LNG potential exports are considered,  
22 but to your point, some of those long-term implications  
23 in terms of some of the trade policies have not, and  
24 we're actually coming out with the Natural Gas Trends  
25 Report and Forecast Report in the next week or so, which

1 will explain some of the issues that we've considered,  
2 but I have to give more thought to your question, sir, I  
3 think it's an interesting point you've raised.

4 DR. MCCANN: Oh, I was just going to add that,  
5 in the cost of generation model, is what we did  
6 previously was developed a range based on forecast, or  
7 previous forecast errors, so that we were basically  
8 trying to bound based on our past experience where these  
9 forecasts might deviate from what we had done before. So  
10 then, in some ways we were actually capturing a large  
11 range of that uncertainty.

12 MR. PIETRUSZKIEWICZ: I guess that was the  
13 point I wanted to make is that, what we've learned over  
14 time, sometimes more so than other times, is that no  
15 forecast will be perfect, all forecasts have error, all  
16 forecasts therefore need to have wide ranges and wide  
17 bands based on some set of assumptions, whether it be  
18 historical assumptions, or whether it be history that's  
19 modified for some reason, whether you can try to predict  
20 things that have not happened before than might give you  
21 a wider band, even, than you've had historically. So I  
22 think it's just important to recognize that there's  
23 uncertainly involved in everything we do.

24 COMMISSIONER PETERMAN: Great. As the next  
25 person to question comes to the podium, I will just say

1 to the panelists that, when we wrap up this panel, I will  
2 ask you if you have any explicit recommendations for the  
3 Commission now. You've touched on some generally in your  
4 presentations, but wanted to give you that opportunity.  
5 So now we have Valerie Winn with Pacific Gas & Electric.

6 MS. WINN: Hi, good morning, Commissioner  
7 Peterman. I had a few questions for Black & Veatch on  
8 slides 3 and 4 of their presentation. And I was curious  
9 as to -- I know this is based on projects that you have  
10 been involved in and I'm curious as to the geographic  
11 dispersion of those projects. Were these projects in  
12 California? Or are these projects nationwide?

13 MR. PIETRUSZKIEWICZ: These charts primarily  
14 reflect experience in the Western United States, and they  
15 would have to be massaged and modified to be very very  
16 specific to California. But they are generally  
17 reasonable for the Western U.S. and, when we do it more  
18 geographically specific, we don't just use the projects  
19 in that geography, but we use projects outside of that  
20 geography, and then we modify it to reflect what we know  
21 about projects in that geography. So if, let's say, I  
22 had five projects in California and 100 projects outside  
23 of California, I might still use those 100 projects from  
24 outside of California, but I would adjust them to move  
25 them into California.

1 MS. WINN: Okay, I was curious about the  
2 capacity factor that you had assumed, particularly, for  
3 wind. They seem a bit higher than what we're generally  
4 seeing in California at this time.

5 MR. PIETRUSZKIEWICZ: Yeah, I guess there is  
6 another thing that's going on with wind, is that overall  
7 the average fleet capacity factor for wind is dropping  
8 around the globe. But technologically, the cutting edge  
9 technology is for wind turbines that can get more out of  
10 less, and so you are starting to see some projects with  
11 increased capacity factors, so I recently saw a financial  
12 analysis for one that had a 50 percent capacity factor.  
13 And you know, that's beyond the range that I show on this  
14 sheet, but that's an example of what's going on.  
15 Similarly, let's say, you know, I'm from sort of the Bay  
16 Area, mostly, and over there there's Solano wind  
17 turbines, and in Solano, five or 10 years ago, there was  
18 a fairly small area you could put wind turbines, and that  
19 was due to the wind that was available, the technology  
20 that was available to achieve reasonable economics. If  
21 you went and evaluated projects at that exact site today,  
22 you would probably go beyond the boundaries of that site  
23 to the entire county, instead of just the site that you  
24 had, just because of technological change. So it's  
25 interesting.

1           COMMISSIONER PETERMAN:  Valerie, before you ask  
2   your next question, let me just have a follow-up.  So are  
3   we seeing the average capacity factor drop globally for  
4   wind because of the wind resources, in terms of expanding  
5   into lower class wind resources, or what's the reason for  
6   that?

7           MR. PIETRUSZKIEWICZ:  The majority of projects  
8   have used the very best sites, and so now we're picking  
9   sites that are a little less optimum, and we're also  
10  picking more risky sites, so maybe you put a project in a  
11  location where you expect something to happen that you  
12  don't exactly get the results that you originally  
13  expected.  So it's a combination of factors, but I think,  
14  in general, Lawrence Berkeley Labs is the one that has  
15  the statistical data for the country that shows that the  
16  national average is decreased.

17          DR. MCCANN:  And you're going to see that, by  
18  the way, just with geothermal, same thing, and then as  
19  biomass develops, you're going to see an exhaustion of  
20  the prime sites and a move into the lower quality sites  
21  as you move along, and solar eventually will reach that  
22  point, as well.

23          MS. WINN:  Okay, thank you very much.  I did  
24  actually -- I think Black & Veatch had also noted the  
25  owners' costs are generally about 40 to 50 percent of the



1 total project cost, and I just wanted to make sure that  
2 the Commission was aware that, you know, when we have our  
3 renewables solicitations, we don't get costs from  
4 developers that are broken down on those lines, we only  
5 get an all-in cost, generally, that is given to us, and  
6 so we have no ability to influence that, or to consider  
7 those costs in our evaluation.

8           You also asked a question about the  
9 transmission cost and I know we've had these discussions  
10 before, but generally PG&E has been very supportive of  
11 spending maybe a little bit more on transmission and  
12 working on getting the system that is maybe a little bit  
13 over what might be right size, because we really see some  
14 benefits there in getting price on price competition from  
15 the renewable generation, and that's really where a large  
16 amount of our customer dollars are going to be going is  
17 to generation, and not necessarily transmission, so  
18 spending a little more on transmission could actually get  
19 us some benefits in reducing customer cost for  
20 generation.

21           You had also asked about biomass projects and  
22 their ability to get financing. Our experience has been  
23 that they're challenged in getting financing more because  
24 of the reliability of their feedstock and their ability  
25 to lock that up in contracts. Generally, we're seeing

1     that they're not able to -- they might want to do a 20-  
2     year contract, but they're not able to lock up a fuel  
3     supply for that entire period of time.

4             And then, lastly, on integration charges, you  
5     know, I think the jury is still out on what those costs  
6     will actually be, but I think right now we've seen a  
7     range of analyses that might say it's anywhere from \$7.50  
8     per megawatt hour for wind and solar up to, say, a high  
9     of \$15.00 per megawatt hour, and I think we'll learn a  
10    lot more about what those costs might be over the next  
11    few years.

12            COMMISSIONER PETERMAN: Great. Thank you very  
13    much. I'm sure you'll be providing comments at various  
14    workshops, but if you can note some of those integration  
15    cost ranges, as you see them now, that would be great.

16            MS. WINN: Okay. Thank you very much.

17            COMMISSIONER PETERMAN: A question over here,  
18    and then I'm going to ask that we then see if there's  
19    anyone on the phone who has a question. Not yet? Okay,  
20    great.

21            MR. KIM: Daniel Kim with Westlands Solar Park.  
22    Just wanted to ask whether or not the cost modeling is  
23    going to take a look at land prices as a kind of major  
24    factor with respect to -- I think it was Chart 8 or 9 --  
25    that highlighted the owner's cost percentages.

1 DR. MCCANN: We will be looking at land prices  
2 in the cost estimates, but even for solar projects, the  
3 acreage that's involved, the land costs don't have a huge  
4 impact on the final prices because the prices we're  
5 typically looking at are \$3,000 to \$10,000 an acre, and  
6 those just don't -- when you're looking at 3,000 acres,  
7 or 4,000 acres, it's not a huge component of the project  
8 cost.

9 MR. KIM: I would beg to differ on that price  
10 assumption with regards to private lands, and especially  
11 agricultural lands in the Central Valley. You're seeing  
12 much higher numbers, given the kind of move to projects  
13 going from public lands to private lands, particularly  
14 these so-called marginal farmlands, and it's creating  
15 that kind of speculative bubble that we saw, I think,  
16 earlier in mid-2000 with regards to some of the Federal  
17 lands that were being put up for sale.

18 DR. MCCANN: Yeah, we're -- the projects we've  
19 looked at, ones in the desert and on the Central Coast,  
20 which is not the Central Valley, they've typically been  
21 around about \$3,000 to \$6,000 an acre there. We haven't  
22 looked at, for example, what would happen in Westlands.  
23 And if you have any information, we would probably want  
24 to look at the Central Valley costs, as well, because we  
25 do want to look at some of the regional differences in

1 the various projects because there are tradeoffs in  
2 project costs by region.

3 MR. KIM: And especially when you get to the  
4 lower kind of substation size projects that are typically  
5 less than 1,000 acres, the land price becomes a  
6 significant factor determining the economic viability of  
7 being able to compete in a very competitive PPA market.

8 COMMISSIONER PETERMAN: Yes, one final question  
9 here in the room and then we'll turn to the phones and  
10 then to the panelists for final comments.

11 MR. PINGLE: Hi. Ray Pingle with Sierra Club.  
12 Good morning, Commissioner. First of all, we'd like to  
13 say that the levelized cost of energy studies that the  
14 Commission has done, I think, are extremely helpful, and  
15 if financially feasible, it would be very helpful to do  
16 those on a more frequent basis so the data is kept more  
17 current. And I'm pleased to hear that you're exploring  
18 doing cost LCOE studies on various distributed generation  
19 technologies of various sizes. I think that would be  
20 very helpful.

21 In addition to that, in the most recent study,  
22 you looked at the cost of basically a gas-fired peaker  
23 plant, so a different technology applied in a different  
24 way. And it might also be helpful to look at some costs  
25 of other technology, storage technologies, and so on,

1     that could meet that need, so we could do a comparison.

2             And then also, when we consider the costs of  
3     integration, you know, under SB 17, all the IOUs are  
4     developing Smart Grid deployment plans and part of the  
5     components of those plans include integration  
6     technologies, more computerized automated management of  
7     the grid, to do balancing using demand response, the  
8     better forecasting for resources and so on, so to some  
9     extent some of the integration costs are in a sense some  
10    cost because they're already required, and they're  
11    required for many many reasons other than just supporting  
12    renewable, to support other technologies. S o I just  
13    think that's something that should be considered when  
14    considering the real cost of integration.

15            And then, one finally question I had for Mr.  
16    McCann was you had mentioned about how capacity factors  
17    are actually decreasing for some of the coal-fired and  
18    natural gas-fired, and I was curious as to what some of  
19    the factors are contributing to that. Thank you.

20            DR. MCCANN: Well, the primary -- these are  
21    actually mostly coming out of studies that are being done  
22    looking out to 2020, and they're studies done by WECC and  
23    done at the PUC, for the PUC, and in those studies it's  
24    the increased penetration of renewable resources that are  
25    a must take, and it's making it so that those fossil

1 resources become dispatchable, so that's really what's  
2 driving that -- the lower capacity factors on those  
3 plants.

4 COMMISSIONER PETERMAN: Any questions on the  
5 phone? And then one more question in the room.

6 MS. GREEN: Hello, could you please state your  
7 name first? Hello? Hello? Do you have any comments for  
8 us?

9 COMMISSIONER PETERMAN: I think we'll go to the  
10 question in the room, then. Go ahead.

11 MR. SILSBEE: Thank you, Commissioner. I'm  
12 Carl Silsbee from Southern California Edison. Could we  
13 get page 3 back up, the one that showed the capacity  
14 factors? I wanted to talk about that in a minute. First  
15 of all, we've been very supportive of the CEC's ongoing  
16 work in supporting the cost of generation modeling and I  
17 think it's something that is very useful for you to  
18 continue to look at in the various IEPR cycles. It's a  
19 good touch on what the data are currently. At the same  
20 time, we've been somewhat critical, not so much of the  
21 work, but of our fear of how it's being interpreted. And  
22 I think it's very important to realize that what you're  
23 seeing in the numbers is not a beauty contest that says,  
24 "This is the right technology because it's cheaper than  
25 others." We have to look at this in the sense of an

1 overall integrated resource plan, and there are a lot of  
2 interactions among different kinds of resources. So if  
3 we looked, for instance, at the natural gas CT, you can  
4 see a capacity factor of five to 50 percent -- I hope we  
5 don't get to 50 percent, but if you divide the capital  
6 cost by the capacity factor to get an idea of what the  
7 dollar per something is, it's a range of 10:1. And that  
8 doesn't say that a CT is cost-effective if it's running  
9 at five percent and not cost-effective if it's at 50  
10 percent, obviously. So we need to be very careful when  
11 comparing capacity value vs. energy value, for instance,  
12 and levelized as energy metric.

13 More significantly, for instance, as we see a  
14 build-out of solar thermal and solar PV in our system,  
15 what it's doing is it's shifting the net load peak. That  
16 is, the customer load minus intermittent renewables until  
17 later in the day, and it's changing the whole reliability  
18 perspective. And just diminishing returns, solar then  
19 becomes less valuable because it's just not delivering as  
20 much later in the day. And so we need to be very mindful  
21 of those kinds of considerations. So it's not just the  
22 total cost that you mentioned earlier, but it's also a  
23 total value that's important for us.

24 COMMISSIONER PETERMAN: And thank you, and I  
25 thank you for acknowledging that both of those are

1 shifting. There is some good work coming out of Lawrence  
2 Berkeley National Lab by Andrew Mills, particularly  
3 focusing on this issue of, as you get to higher levels of  
4 integration of solar PV and solar thermal, the declining  
5 potential value there associated.

6 MR. SILSBEE: Thank you.

7 COMMISSIONER PETERMAN: Let's turn back now to  
8 the panel for any final comments.

9 DR. MCCANN: Yes, thanks. I think that looking  
10 at recommendations for the Commission to focus on, I  
11 think I would -- it's going back to some of the levers  
12 that I had mentioned; one is focusing on -- getting  
13 better information on transmission costs over wide  
14 ranges, so that there was -- in the 2007 IEPR, there was  
15 embedded in the IEPR was some information about  
16 transmission costs that we were able to convert into our  
17 2009 model in order to try to get some estimate of cost.  
18 I think that doing something along those lines that gives  
19 us a more defined or refined estimate of how transmission  
20 costs vary across regions of the state, what might be  
21 helpful in terms of policy planning and where the  
22 Commission might recommend focusing on those sorts of  
23 things.

24 The second one is, on the DRECP, which the  
25 Commission is running, is focusing on the tradeoffs in



1 renewable policy vs. local environmental conditions, and  
2 that's something that's very salient to the Commission,  
3 it's -- there are a number of other agencies that are  
4 involved in that discussion, and I think that the  
5 Commission would be well set to really plunge into that  
6 issue and have good hands on interaction with that, and  
7 think about how that's affecting the renewables trends  
8 over time. And the third area is looking at terms in the  
9 PPAs, and how that affects the ultimate, the final costs  
10 that you see that are paid by ratepayers, and I think  
11 you're going to be talking about procurement issues in  
12 the next panel, and that's probably asking those sorts of  
13 questions of those people, it might be particularly  
14 helpful.

15 MR. PIETRUSZKIEWICZ: I would just suggest that  
16 we dwell on uncertainty a little bit and, as we model  
17 these things, we'll probably be getting more  
18 sophisticated in how we deal with uncertainty, of the  
19 multitude of variables that go into these calculations,  
20 and you know, I can't predict what the outcome will be,  
21 but I think dealing with it, the analytics more  
22 carefully, we'll tighten our bands up and make us a  
23 little more certain in what we're trying to do.

24 DR. MCCANN: I just would follow-up to even say  
25 that maybe we need to think about treating -- looking at

1 our insurance products with uncertainty, because we'll  
2 never get it so certain that we'll know what the answer  
3 is, so we've got to ask the question -- we don't know a  
4 lot of things and we aren't going to know anymore, and  
5 now what do we do?

6 MR. ALVARADO: I would like to just emphasize  
7 transparency. One thing I found very difficult when I  
8 looked at different levelized cost of generation studies,  
9 is it's really hard to compare one cost estimate for a  
10 same technology next to another and the devil is really  
11 in the details. So I think, as we move into this next  
12 phase of calculating levelized cost, we really need to  
13 drill a little bit deeper down into understanding what  
14 those key variables are, especially if we want to compare  
15 one study to the next.

16 COMMISSIONER PETERMAN: Great. Thank you very  
17 much, Al, Richard, and Jon, appreciated the discussion.  
18 We're going to break now for lunch. We'll be resuming  
19 promptly at 12:45. Thanks.

20 (Recess at 11:43 a.m.)

21 (Reconvene at 12:48 p.m.)

22 MS. GREEN: Our second panel of the day will be  
23 moderated by David Vidaver and we don't have any  
24 presentations from the panelists. Go ahead, David.

25 MR. VIDAVER: Thank you, Lynette. Good

1 afternoon, Commissioner. I wasn't here this morning.

2 Are we letting the witnesses introduce themselves and  
3 make introductory statements if they so desire?

4 COMMISSIONER PETERMAN: Our invited guests may  
5 indeed --

6 MR. VIDAVER: I contemplated using  
7 "perpetrators," but...

8 COMMISSIONER PETERMAN: -- if they would like  
9 make a couple minute opening statement, we've got about  
10 an hour and a half of for this panel, and so I encourage  
11 you to make some opening remarks, and then get into a  
12 lively discussion. Thanks.

13 MR. VIDAVER: Mr. Lewis?

14 MR. LEWIS: Well, good afternoon. Thank you  
15 very much. My name is David Lewis. I'm Director of  
16 Renewable Transactions for Pacific Gas & Electric, and in  
17 this role my team manages a lot of the solicitation  
18 efforts through the RPS requirements, so we negotiate a  
19 lot of the transactions.

20 And for some brief opening statements, I just  
21 want to say that I'm probably going to echo a lot of the  
22 earlier comments from this morning's session in that,  
23 when we look at renewables, I think it's very important  
24 -- and as I looked over the questions for this panel,  
25 it's very important to distinguish between the separate

1 elements that we're talking about -- price, cost and  
2 value. And those are completely different things, at  
3 least in my mindset and certainly how our utility  
4 approaches those different variables.

5           In terms of price, you know, our contracts are  
6 structured on a dollar per megawatt hour basis, that's  
7 the revenue stream that the PPA gets for delivering  
8 energy to us, we only pay for what we get. And it's  
9 important to understand that, yes, price on some of these  
10 contracts have gone down, but that is only one factor and  
11 it's not kind of the end all be all because what's also  
12 equally important, if not more so, is costs. And costs  
13 have a lot of different elements associated with it. The  
14 price is an element of cost, but there's cost to the  
15 developer that go beyond just the traditional kind of  
16 paying pricing or component pricing pieces of it, which a  
17 lot of people seem to be focused on, but then also  
18 there's the other soft costs associated with these  
19 transactions, too, for the developer, which in turn  
20 drives their price.

21           Similar to the utility, we also have cost  
22 concerns, as well, it's not just the price that drives  
23 our cost, but there's other elements of it, as well.  
24 There's transmission, there's integration costs, etc. So  
25 it's important to understand that price is just an overly

1     simplistic metric to look at when comparing a lot of  
2     different deals and a lot of different transactions.

3             And so, our perspective in how we look at these  
4     deals is really to concentrate on value of these  
5     transactions, which incorporates price and the cost  
6     elements, but also incorporates a lot of the other  
7     attributes associated with these products --  
8     environmental attributes, project viability attributes,  
9     credit attributes, you know, adherence to terms and  
10    conditions, these are all things that we consider when  
11    we're looking at a transaction. So we don't just get  
12    focused on price and cost, but look at the total value  
13    that the deal represents to us, and that has a lot of  
14    nuances to it, and a lot of different elements that are  
15    hard to exactly quantify, so they are a much more  
16    qualitative effort.

17            When we look at the total package, then, we  
18    have to consider what is the value that these deals  
19    represent to the company, as well as to our ratepayers,  
20    and that's how we distinguish these, as opposed to  
21    focusing on an element of cost decreasing, or prices  
22    decreasing.

23            COMMISSIONER PETERMAN: So just a quick follow-  
24    up question on that. In terms of how you're -- I'm  
25    thinking of the best way to phrase this -- in terms of

1   how your procurement is considered than at the Public  
2   Utilities Commission, in terms of your ability to recover  
3   costs, is that entire suite of attributes you just  
4   discussed a part of that deliberation?

5               MR. LEWIS: Yes, in part of our filings we  
6   mention all the different attributes associated with the  
7   transaction, so it's not just a pure dollar number, but  
8   also the overall value that it represents, both the kind  
9   of hard dollar number, as well as a lot of these other  
10   soft attributes.

11              MR. WALSH: Good afternoon. Thank you for  
12   having me here. My name is Bill Walsh. I'm the Manager  
13   of Renewable Procurement at Southern California Edison  
14   Company. My group is in charge of all renewable  
15   procurement coming out of Edison, including our large  
16   solicitation, as well as my group manages all the Feed-in  
17   Tariff programs such as RAM and SPVP.

18              I don't want to repeat a lot of things that Mr.  
19   Lewis at PG&E stated, I agree with a lot of it, a lot of  
20   our selection is based on value, I think focusing on  
21   solely price as a mistake; although it can be a large  
22   driver in terms of our procurement decisions, it is not  
23   the only driver, there are still other costs and benefits  
24   associated with different types of projects. And as long  
25   as we're measuring those correctly, you're pretty much on

1 the right path. I will say, when you're talking about  
2 procurement, in general, there currently -- if you are a  
3 certain size and a certain technology, you have five  
4 procurement options, and within those five procurement  
5 options, there are varying degrees of how we measure the  
6 value of the project, or, if at all, because some of them  
7 are essentially administratively determined pricing under  
8 the procurement program.

9           So, in general, when you're talking about  
10 procurement, it's important to know which program you're  
11 under, how do we measure value under that program, if at  
12 all, and then determine what is the best selection to  
13 make. In our opinion, most of the procurement should be  
14 driving towards something that measures all value,  
15 including contract price, integration costs, transmission  
16 costs, along with the benefits that are associated with  
17 the different technologies. Thank you.

18           COMMISSIONER PETERMAN: It's interesting  
19 hearing you both talk about value, and we'll touch on  
20 this some more, but it was a key topic in our benefits  
21 workshop, talking about all in value, and there were some  
22 disagreement, I would say, amongst utility  
23 representatives about what other value -- what attributes  
24 should be considered into that mix, and so I would posit  
25 that you're considering value, but not necessarily all of

1 the environmental values associated with certain types of  
2 generation, like ones that came up in the past workshop  
3 was the fire hazard reduction potential, for example,  
4 with biomass collection, and that's not something that is  
5 considered a part of the value.

6 MR. WALSH: I think that's correct, we're more  
7 focusing on the costs and benefits associated with energy  
8 procurement, so out to serve our energy and capacity  
9 needs, as well as making the RPS goals.

10 MR. LEWIS: I think what's really important to  
11 understand about value is it's very difficult to actually  
12 quantify it, so when you take something like fire  
13 reduction, yes, it has a benefit and we consider that,  
14 but what is that worth? Is that worth a dollar a  
15 megawatt hour, ten dollars a megawatt hour, and then how  
16 do you say that the value that we've gotten exceeds that  
17 presumed cost? So that's what makes it very very  
18 challenging with value.

19 COMMISSIONER PETERMAN: Makes sense. Jim.

20 MR. TRACY: Good afternoon. I'm Jim Tracy.  
21 I'm the Chief Financial Officer for Sacramento Municipal  
22 Utility District. We appreciate the opportunity to come  
23 and present the municipal point of view, at least SMUD's  
24 point of view, on this.

25 I think my comments would revolve around the



1 policy goals of the State vs., say, the policy goals of  
2 SMUD. I think SMUD probably has somewhat of a subset of  
3 the State's policy goals. When we look at job creation,  
4 I think from our Board's perspective, having the lowest  
5 rates that we can possibly have within the community to  
6 attract all businesses, is really the primary goal, as  
7 opposed to focusing on a particular sector like the green  
8 jobs.

9 Of utmost important, then, to our Board is  
10 overall rates, so having a renewable portfolio that is  
11 low cost is important; probably secondary, but almost as  
12 important is whether that portfolio is going to produce a  
13 stable and reliable power supply. Some of the other  
14 objectives, you know, that the State may have, may not be  
15 as important for SMUD, and so the overall Integrative  
16 Resource Plan, which my group produces, would really  
17 reflect SMUD's primary goals as stated by our elected  
18 Board of Directors.

19 COMMISSIONER PETERMAN: Well, let's take --  
20 we'll mix it up a little bit -- Randy Howard on the phone  
21 next with LADWP.

22 MR. HOWARD: Good afternoon. Can you hear me?

23 COMMISSIONER PETERMAN: Yes.

24 MR. HOWARD: All right, well, thank you for  
25 allowing me to participate by phone today. I was hoping

1 to be there, but it just didn't work out with some of the  
2 flight issues and the time.

3           So I think, very similar to the other speakers  
4 so far on this panel, LADWP really looks closely at the  
5 cost considerations as to how we procure, but we do value  
6 a little differently. You have to look at what are your  
7 existing resources, what are your other mandates, and  
8 what we've attempted to do in our Integrated Resource  
9 Plan is look at all of the various mandates, the timeline  
10 in how we sequence those mandates, and in the procurement  
11 of renewables, how can we reduce some of the costs  
12 associated with the multiple activities so that  
13 renewables, on themselves, aren't the focus alone, but  
14 they might help us in achieving a reduction in our  
15 divestiture of our coal plants, or as we transform our  
16 once-through cooling, can we ensure that those repowered  
17 facilities are going to accommodate the intermittency of  
18 renewables. So we try to spread the cost appropriately  
19 across the various activities, and then we have to come  
20 back to what really are we going to be able to pay for  
21 based on the rates that our governing authorities are  
22 going to approve. And so we come back to what are the  
23 technologies and the activities that we can do.

24           So similar in how we walk through evaluation.  
25 Everything we do is competitive, we don't do a sole

1 source negotiation, so they're quite transparent in  
2 approach, and the way we would initiate is we also look  
3 at projects and determine how can we add value to a  
4 developer's project, is it -- can we do a pre-pay  
5 contract? Would that bring in our lower cost to funds  
6 pre-paying, reduce the costs or the risk of the project?  
7 Can we utilize our land resources or our transmission  
8 system a little better to reduce the cost or bring  
9 greater value to our ratepayers? So we look at a number  
10 of the elements, we certainly don't just take it on the  
11 face value of a proposal.

12 COMMISSIONER PETERMAN: Thank you.

13 MR. SIMON: Hello. My name is Jason Simon.  
14 Thanks very much for having me here today. I work for  
15 the RPS Group at the California Public Utility  
16 Commission. I work on primarily large-scale utility  
17 initiative on the procurement side and also the policy  
18 side, so I do interface regularly with, say, these two  
19 fellows over here, David and Bill, and we look at what  
20 their, I guess, solicitations are on a regular basis, on  
21 the annual solicitation side, to what Bill was saying on  
22 the RAM side, and the various solar PV programs that  
23 utilities have.

24 I guess the conversation is revolving around  
25 how these products should be valued, and the CPUC has

1 taken the approach that we are looking at the value of a  
2 project and not the cost. The cost is actually a  
3 component of how value is measured, so the way, at least,  
4 that we know that PG&E and Edison are looking at projects  
5 and ranking projects, at least in their annual short  
6 lists, they are looking at the total value that is  
7 associated with the projects, and not necessarily the  
8 costs.

9           Obviously, because this is a market that is  
10 based on supply and demand, and not on cost, we look at  
11 market metrics, we don't look at cost metrics. Cost  
12 metrics, too, obviously can be nebulous, looking at a  
13 levelized cost value is very different from region to  
14 region, from project to project, and to some extent very  
15 difficult to update in a very timely fashion.

16           So the Commission is looking at least cost best  
17 fit reform, which I think is what Dave and Bill were  
18 alluding to, from the perspective of what values do you  
19 add that are incremental to the least cost best fit  
20 valuation. And we do have a consulting initiative  
21 happening right now, which we are contracting for, and is  
22 going to be looking at the different types of values that  
23 are associated with different types of technologies and,  
24 obviously, aligning our initiative with our Long-Term  
25 Procurement Plan because, at the end of the day, it

1 really boils down to what are longer term system needs,  
2 which really will identify what the values of a lot of  
3 these different services are for a lot of these different  
4 projects. And sitting on my right here is Brendon, who  
5 we are actually working with on the Cost Containment  
6 Initiative, which is actually going to deal directly with  
7 some aspects of least cost best fit.

8 COMMISSIONER PETERMAN: Great. Thank you,  
9 Jason. And I think you just, in mentioning the term  
10 "least cost best fit," you know, you've touched upon  
11 perhaps a challenge for those of us who are not a part of  
12 the PUC's procurement process, that positioned with that  
13 phrase, "least cost best fit," you know, you'll assume  
14 that "least cost" is really the primary focus. And there  
15 has been raised by various parties at workshops that  
16 they're not sure where the best fit component comes in.  
17 But, from hearing from you, as well as from the other  
18 Investor-Owned Utilities on the panel today, it seems  
19 like there is a movement towards having the best fit be  
20 the dominant driver, if you will. So I wonder if you  
21 could speak to -- you mentioned cost as a part of that  
22 value, but is it the majority consideration?

23 MR. SIMON: Well, you know, obviously everybody  
24 on the panel could speak to this, but I would say that  
25 when we say "least cost" we probably mean more cost-

1 effectiveness, so we're looking at the cost-effectiveness  
2 of a project relative to what the portfolio needs for the  
3 utility, and relative to what the portfolio needs are at  
4 the system level at the California ISO. And that's  
5 something that we actually have to take into  
6 consideration when we actually look at a Cost Containment  
7 methodology, is we don't want to bite off our nose to  
8 spite our face, and implement a cost gap without  
9 considering the cost-effectiveness of the program.

10           And to obviously elaborate on your question,  
11 you know, what is the "best fit" portion of it, that  
12 would be, you know, what the utilities determine to be  
13 what the best fit is for the project, based on their  
14 portfolio needs, based obviously on the time that the  
15 project is coming on line, with regards to the compliance  
16 targets that obviously have been implemented by the  
17 Commission through SB 2, and obviously whether or not  
18 they need more baseload vs. more peaking in our  
19 portfolios, and obviously things like that.

20           MR. PIERPONT: Hello, I'm Brendan Pierpont from  
21 the Climate Policy Initiative. So just a quick  
22 introduction of our organization, we're a policy  
23 effectiveness, analysis, and advisory organization, and  
24 so our mission is to look at kind of implemented policy  
25 to see how well it's performed, and as Jason mentioned,

1 because of the requirement in the 33 percent RPS that the  
2 CPUC put together a cost limitation for the policy, I  
3 thought it would be timely to look at what other states  
4 had done in implementing Cost Containment.

5           So just a few sort of high level lessons that  
6 came out of this exercise. First is that, even though  
7 some states try to use Cost Containment to kind of make  
8 their policies more cost-effective, it doesn't really  
9 seem to be the case that it actually does that, it  
10 functions more as an insurance mechanism when it does  
11 work, it's kind of a release valve on the policy  
12 stringency when costs are higher than some threshold  
13 that's expected.

14           And implementing these types of things comes  
15 with tradeoffs, so you're trading off the kind of  
16 ambition of the policy, potentially the cost  
17 effectiveness some states have used public contract level  
18 price caps, or some sort of price signals and, then, in a  
19 number of cases, those that have been interpreted by the  
20 market more as a price floor than a price ceiling. So  
21 there are just a few little cautions in kind of how you  
22 design a cost cap for a policy that we've seen from other  
23 states' experiences, that we think might be relevant for  
24 California implementing similar. Thanks.

25           COMMISSIONER PETERMAN: Brendan, thank you for

1   that.  In addition to the Cost Containment work that the  
2   Public Utilities Commission is doing, the 40 plus public  
3   utilities that are also part of the RPS also have to  
4   develop their own Cost Containment measures, and so these  
5   types of insights are valuable.

6               I wanted to acknowledge that I've been joined  
7   on the dais by Commissioner McAllister, so welcome.  And,  
8   David, I'll give it back to you.  I would like to hear  
9   some answers to that first question, though, now that  
10  we've done some intro.

11              MR. VIDAVER:  Now that we've talked about value  
12  being more important than cost, let's just go back to  
13  offer prices, which don't necessarily reflect --

14              COMMISSIONER PETERMAN:  We already had the  
15  value worked out -- no, it's good to bring it in.

16              MR. VIDAVER:  We're going to get back to value  
17  at some point here and how it's determined for individual  
18  projects, but let's note that offer prices and levelized  
19  costs, or costs of development, don't necessarily mean  
20  the same thing.  Over the past decade, a lot of people,  
21  investor-owned utilities included, and I imagine some of  
22  the Munis, have said that the drive for renewable energy  
23  at a breakneck speed has created an environment in which  
24  sellers have some sort of market power, and that  
25  estimates of costs of development were less than valuable



1 because you weren't seeing those in RFOs. Now, we have a  
2 situation where we have -- I think it's 3.8 million  
3 gigawatts in the ISO queue, and the utilities are  
4 approaching 33 percent, at least under contract if not in  
5 real procurement. Is the market for renewable energy in  
6 California now competitive? Have offer prices come down?  
7 Have then come down more or less for different  
8 technologies? And I realize this is a very sensitive  
9 area and you're probably not going to be providing fourth  
10 decimal place answers, but any light you can shed on  
11 whether markets for renewable energy are now competitive,  
12 and what the obstacles you see in the way of lower  
13 prices? And we could probably take it in order, unless  
14 we have volunteers.

15 MR. LEWIS: Sure. I'll go ahead and give a  
16 shot with that one. Certainly, we've seen that the  
17 market is competitive and we've seen a tremendous growth  
18 in the number of responses to our solicitations. We've  
19 seen that prices for the winning bids have come down, but  
20 I mean, I think it's important to understand the earlier  
21 panel, as well, that we are still seeing a tremendously  
22 wide range of pricing in between kind of the winning  
23 bids, and some of the other bids that just participated  
24 in the solicitation, but may not be selected. But I  
25 would characterize it generically that prices have come

1 down. Certainly, I would say I think for fewer  
2 technologies more than others, and solar PV has come  
3 down, but if you also look at some of the other kind of  
4 cost elements to this tremendous divergence in the bids  
5 that we receive is very interesting, and that's really  
6 what gets to the cost side -- what are people assuming  
7 when they're putting in their price? And it's very hard  
8 to disconnect those two because you have to understand  
9 what are those underlying assumptions. And macro level  
10 discussions about solar PV pricing will translate into a  
11 price reduction is only one element of what makes up that  
12 price, finance and cost, etc., the length of time with  
13 which it takes to develop these projects are also an  
14 important factor to consider, and can drive and change  
15 pricing.

16           And just for example, just last week the new  
17 tariff that they have on solar PV pricing, what  
18 ramifications is that going to have? So I think, yes,  
19 we've seen the trend go down, but there is so much more  
20 uncertainty in these markets revolving around a lot of  
21 different aspects of it, that it's hard to say whether  
22 that trend will continue or not.

23           COMMISSIONER PETERMAN: And just a quick  
24 question, David. Valerie touched on this a little bit,  
25 but in terms of the information that you get, then, from

1 project applicants, do you get information on their  
2 assumptions? Is that something -- I'm just trying -- how  
3 do we get you the more information that you need to  
4 realize what's the best value?

5 MR. LEWIS: It would be really nice for me to  
6 negotiate a contract if the developer gave me their pro  
7 forma and I know what their return was, but unfortunately  
8 it doesn't work that way, so we take the best bids that  
9 we get in, and we analyze them against its value  
10 equation, and we select the best winning bids that we can  
11 and we negotiate hard to get the best value that we can.  
12 But a simple assumption -- and I'm a finance guy by trade  
13 -- so a simple assumption about, as you saw on some of  
14 the earlier presentations, just about capacity factor for  
15 a project, if you assume a 30 percent capacity factor vs.  
16 a 40 percent capacity factor for a wind project, you can  
17 dramatically change the price that you believe it will  
18 take to win, and we just don't have access to all of that  
19 information, although it would be kind of fun if we did.

20 COMMISSIONER PETERMAN: And one other question,  
21 historically we've looked at the market price references  
22 to get a sense of how renewables are comparing perhaps to  
23 the dominant technology, but with gas prices coming down,  
24 if we were going to have an MPR now, what would that be?  
25 You know, how different would that be from the 2009 value

1     that we've last observed?

2                 MR. LEWIS:  Oh, I don't really have all the  
3     detail on that, but certainly, I mean, if you look at  
4     just the general power market, it's decreased so  
5     dramatically it would be interesting to see where that  
6     is.  But once again, and we've touched on it before,  
7     what's your 20-year assumption, as well, too.  So that's  
8     a key piece of it.

9                 MR. WALSH:  I believe there is an update on a  
10    2011 MPR and I don't have the exact spread on the drop,  
11    but I believe it's in the magnitude of \$15.00 a megawatt  
12    hour, roughly?  I'm looking at Jason.

13                MR. LEWIS:  But even that, I think that was  
14    still -- gas prices were still fairly high even with  
15    that, compared to where they are today.  I mean, gas now  
16    is in the \$2.00 to \$3.00 range, so --

17                MR. WALSH:  I'll just build off of some of Mr.  
18    Lewis' comments.  I might separate competition and  
19    pricing, I would say in terms of the response we've  
20    gotten recently in our solicitations, they've been very  
21    robust.  We've had a tremendous response from the market.  
22    For prices, I think there's a lot of things that can  
23    drive that, that are basically outside of the control of  
24    California and us, and even the developers, for example,  
25    PTCs for wind, ITCs for solar, are going to be a major

1 driver in pricings coming in the future, so the fact that  
2 we're on a downward trend, I think, is far from a  
3 guarantee that we're going to continue on one.

4 MR. TRACY: At SMUD we've, for the last two or  
5 three years, been pretty much over-sourced on renewables,  
6 so we aren't going out for formal bids, but we do get  
7 unsolicited offers and we do see the prices coming in the  
8 door cheaper, especially for solar projects. maybe only  
9 slightly cheaper for geothermal wind and other type  
10 projects.

11 You know, my background is in economics and I  
12 get a little bit cynical about some of this stuff in the  
13 market. I mean, when you have a situation where you have  
14 a mandate to go out and so the demand is huge, and the  
15 suppliers are just cranking up their projects, and you  
16 have a referent price out there, I mean, to me it just --  
17 it doesn't really matter what the developers' costs are,  
18 they're going to look at what the market price is because  
19 it's essentially a seller's market.

20 And indeed, when we were looking out three  
21 years ago, I think the spread in bid prices that we were  
22 getting was pretty tight across all the technologies.  
23 Now you're seeing a much wider spread in the bid prices,  
24 at least the unsolicited stuff that comes in the door,  
25 and that's more indicative of a market where there's a

1 little more balance between demand and supply. And so I  
2 think that, going forward, you know, as long as we have a  
3 measured approach to how we procure and how much we  
4 procure, and don't do it in these big lumps, I think that  
5 there's a better value for the buyer.

6           The other thing is that, you know, typically in  
7 an unbalanced market like we were seeing two and three  
8 years ago, the offer -- the structure of the offer coming  
9 in the door was, "Well, this is it," you know, it's a  
10 take and pay contract, you have to take everything that  
11 we generate, there's no dispatchability, you know, and I  
12 think maybe for a utility that wants to push it a little  
13 bit, you could go back to a set of bidders and start  
14 talking to them about, well, here's some things that  
15 would be valuable now in the market to actually regulate  
16 the market and give us some flexibility in how we  
17 schedule these resources, and try to trade off some price  
18 for that type of flexibility that utilities are used to  
19 seeing in terms of their standard kind of contracts with  
20 natural gas plants and so forth.

21           COMMISSIONER PETERMAN: Randy?

22           MR. HOWARD: Yeah, I did want to add a little  
23 bit, so thank you. L.A. kind of has taken a little  
24 different approach than probably some of the others at  
25 the table in trying to benchmark and understand that we

1 are getting the best price and value, and so we do  
2 solicit -- we have -- last year we issued through  
3 Southern California Public Power Authority, SCPPA, an RFP  
4 on the street. We kind of outlined the resources we were  
5 looking for, where we were looking for them, and we  
6 received over 200 proposals. And then through that  
7 process, we short listed, started negotiations, but we  
8 also decided to do something a little different, we went  
9 ahead and opened up our RFP to be open and continuous, so  
10 those that didn't make our first cut, we told them, you  
11 know, revise, take another look, revise, you didn't meet  
12 our cut, and we didn't always tell them exactly why, but  
13 we gave them an opportunity to re-bid, readjust their  
14 prices, and we've certainly seen that happen multiple  
15 times as people are still trying to get a project in the  
16 door. And so that's been very very helpful to allow them  
17 to look at their project, go back to their vendors and  
18 say, "Look, we didn't make it this time based on the  
19 proposals, help us with pricing," and they've done that,  
20 and we've been able to reduce costs and, in some cases,  
21 up to 20 percent. So quite significant from what the  
22 first proposals look like.

23           The other thing that we've done is we went out  
24 and decided to build some of these ourselves, so, 1) we  
25 have a little better understanding of the projects, the

1 development cycles, the technologies, and we've just  
2 finished our first 10 megawatt solar project and started  
3 construction on our second, and then we built our 135  
4 megawatt wind farm, and I think SMUD has done something  
5 similar.

6           So when they come in the door, the project  
7 proposals, we look at the weather data that goes with  
8 them, as they come and say, "Well, the capacity factor we  
9 think it's going to be this," we can validate that pretty  
10 quickly, we know the wind zones, we have experienced  
11 engineers that, now operators as well, to put a valuation  
12 to the proposals. And I think that's been really helpful  
13 in us getting some of the better deals in our  
14 transmission.

15           MR. SIMON: You know, I think the only thing I  
16 would add is, you know, we see all the numbers for the  
17 solicitations and, from the last RPS solicitation we had  
18 in 2009 to the 2011 solicitation, pricing on average was  
19 down about 30 percent, but you have to remember that most  
20 of the projects that were shortlisted in the 2011  
21 solicitation, 75 percent of them were solar PV and 25  
22 percent were wind, so it's highly representative of two  
23 technologies. When you look at the spread, the pricing  
24 spread, between I think the most aggressively priced  
25 technology and the most expensive technology, it's very



1 wide. So what that has resulted in is it resulted in  
2 utilities procuring differently and they're procuring  
3 probably more on a price-driven basis, and obviously with  
4 a consideration of value as we were discussing before,  
5 and probably turned away from a lot of the higher priced  
6 contracts because, at this point, as we were discussing  
7 earlier, a lot of the value associated with these higher  
8 price projects cannot be quantified at this point, which  
9 is obviously something that we're working on.

10 COMMISSIONER PETERMAN: Jason, can you touch on  
11 or remind me what the attribute categories are for the  
12 solicitations? So there's peaking, and I thought there  
13 was --

14 MR. SIMON: You're referring to the FIT  
15 proposal? Peaking, baseload and off-peaking?

16 COMMISSIONER PETERMAN: Peaking, baseload and  
17 off-peaking.

18 MR. SIMON: So in our large solicitations,  
19 there are no technology buckets, but for the RAM  
20 solicitation, there's an as available non-peaking, as  
21 available peaking, and baseload, and the same for the  
22 proposed decision in what's called ReMAT, the SB 32  
23 program.

24 COMMISSIONER PETERMAN: Thank you for  
25 clarifying that for me because I was trying to reconcile

1 the 75 percent solar, 25 percent wind, in the last  
2 solicitation with my memory that there was some attribute  
3 classification, and you're right, it's in the RAM, not in  
4 the RPS. Thanks.

5 MR. VIDAVER: A point of clarification, Jason,  
6 you said the spread is getting wider, are you talking  
7 about the spread between high price and low price solar,  
8 for example? Are you talking about the price spread  
9 across wind and solar?

10 MR. SIMON: I'm talking about the price across  
11 various technologies, so solar PV, wind, solar thermal --

12 MR. VIDAVER: You know, technology is becoming  
13 cheaper --

14 MR. SIMON: -- biomass, geothermal, and small  
15 hydro.

16 MR. VIDAVER: Okay, and you also mention that  
17 there is some attributes of higher priced resources that  
18 hadn't been quantified or that needed to be --

19 MR. SIMON: Well, they're difficult to  
20 quantify, as Dave was saying. I mean, if you were to  
21 take, for example, a solar thermal project that  
22 incorporates storage, we don't know what our long term  
23 system needs are now, so it's very difficult to figure  
24 out what the capacity value is associated with it, and we  
25 don't know, for certainty, how that particular project is

1 going to be optimized for the utility's needs, and  
2 depending on how you're optimizing that particular  
3 facility and depending on your long term system needs,  
4 it's going to largely depend -- it's largely going to  
5 determine what the capacity value for that particular  
6 project is. And, you know, a lot of it has to do with  
7 the resource mix. So you know, the more solar PVs you  
8 start putting on the grid, the lower the capacity value  
9 for solar PV relative to the capacity value associated  
10 with maybe solar thermal storage. And that, I mean, that  
11 study that I've just basically paraphrased is a study  
12 that came up from Berkeley National Labs by a researcher  
13 named Andrew Mills, and it's something that people are  
14 looking at right now, and this whole issue of, obviously,  
15 integration.

16 MR. VIDAVER: Maybe that's a good segue into  
17 the next set of questions, and perhaps we could use solar  
18 PV and solar thermal with or without storage as an  
19 example. It's my understanding of bid evaluation that  
20 the utilities look at the value of the energy provided  
21 based on, for an intermittent resource, an 8760  
22 generation profile, and will come up with sort of a  
23 market price for energy during each of those hours, and a  
24 capacity value for the resource, and for a solar thermal  
25 plant, there might be some degree of dispatchability, I'm

1 not an expert on solar thermal technologies, but one  
2 would expect that a solar thermal plant would probably  
3 have slightly less variability and output. So would you  
4 expect -- do these 8760s sort of -- do you use those to  
5 ascribe both value to the energy and to capacity value to  
6 the resource? A question -- yes?

7 MR. WALSH: Yeah, the answer would be yes. So  
8 we take, for SCE's evaluation, yes, it's against market  
9 forecast of energy prices based on a generation profile  
10 for each hour of the year. For the capacity, to  
11 determine the quantity of the capacity coming from the  
12 project, we use the current exceedance methodology at the  
13 CPUC for measurement of intermittent resource -- well,  
14 the wind and solar resources -- some of the dispatchable  
15 resources have their own QC counting methodologies at the  
16 Commission, so they reflect that, and then the market  
17 price capacity. I would say, in our valuation, the one  
18 piece that's been missing has been these integration  
19 costs. We've been ordered to make them zero for the last  
20 couple number of years, at the credit of the CPUC, it's  
21 one of the issues currently before them to start  
22 including those costs, but I think that will help better  
23 allow us to quantify a difference between, say, a solar  
24 PV and a solar thermal facility where a thermal might  
25 have more ride-through capability when it gets cloudy,

1 essentially.

2 MR. VIDAVER: Do solar thermal facilities  
3 generally produce 8760s that reflect that ride-through  
4 capability? Do they generate at a higher availability  
5 factor later in the day?

6 MR. WALSH: So just the natural shape even  
7 between solar thermal technologies can be a little bit  
8 different, and even among solar PV, you'll get a  
9 different shape for a fixed tilt vs. a single axis  
10 tracker. So it's really technology-based. In terms of  
11 demonstrating ride-through, you wouldn't necessarily see  
12 it in the 8760 because we're taking just a year's worth  
13 of data called a typical meteorological year, and doing  
14 our calculations. So you're obviously not catching a  
15 cloud at 2:00 on August 3rd or something along those  
16 lines.

17 MR. VIDAVER: Or 2:15.

18 MR. WALSH: Yeah, exactly.

19 MR. VIDAVER: Okay. Do --

20 MR. TRACY: SMUD pretty much -- we kind of  
21 break it for like solar into like three different  
22 categories, one is the market value of it. But we also,  
23 because we are sort of a transmission constrained service  
24 area, and especially on peak in the summer, you know, our  
25 constraint is how much we can actually input because

1   there are limits, so we have a different value for a  
2   solar resource that is located within our service  
3   territory vs. one that we have to buy and export, so we  
4   give it local capacity value. And then, the other thing  
5   with solar that we really focus on and, as an example,  
6   when we did our 100 megawatt feed-in tariff offering,  
7   what we did ahead of that offering is we went through all  
8   our distribution circuits and we said, you know, if we  
9   were to have up to five megawatts come on to an  
10   individual distribution circuit, what would that impact  
11   be? Would there be no additional costs necessary to  
12   accommodate it? Or are there some circuits out there  
13   where it would cause problems, and we would have to have  
14   an incremental investment as a utility. And so we attach  
15   to the offer, or the solicitation, here are basically the  
16   circuits that are open for solicitation, if you want to  
17   put it somewhere else, you're going to have to talk to us  
18   because you're also going to have to pay for some of the  
19   upgrades that are required on that.

20           The other interesting thing that we've done is  
21   a study on the variability of solar, so within our  
22   service area, we've done a study where we've got the  
23   sensors for the solar intensity across the whole service  
24   area, and we model that on a clear day and on a cloudy  
25   day, and on a cloudy day, the amount of up and down

1 within the whole system look like, you know, you've  
2 jumped on a waterbed, and it was just bouncing all over  
3 the place. And so that's a factor that we're very  
4 cautious about how we incrementally add solar  
5 photovoltaic to our system because we need to understand  
6 how it's going to impact the voltage levels on individual  
7 circuits, whereas if it was a solar thermal, even if you  
8 have a partly cloudy day, you don't have those issues  
9 that you have to deal with in terms of the distribution  
10 system and maintaining voltage stability.

11 COMMISSIONER MCALLISTER: A couple of questions  
12 here. So I want to ask the investor-owned utilities if  
13 they've been approaching kind of this locational issue in  
14 a similar way, or in some way, to what SMUD just  
15 described. I know Edison, for example -- I think all the  
16 utilities at some level have done maps of congestion and  
17 things like that to try to aim the renewables  
18 investments, but I'm kind of wondering a little bit more  
19 if you could talk to that more specifically about how  
20 you're enabling developers to pick -- to propose for  
21 spots that actually can accommodate the renewables and,  
22 you know, some kind of a node, sort of a node incremental  
23 positive or negative price, you know, depending on what  
24 the impacts are, or something like that, and if each of  
25 you could speak a little bit to that and what you're

1    doing?

2                   MR. LEWIS:   Sure.   From our standpoint, it's  
3   important to keep in mind that the transmission side of  
4   the house is completely walled off from us on the  
5   procurement side of the house through FERC Regulations,  
6   so we don't go into details about polling anybody, we let  
7   the developer primarily do their own studies to determine  
8   what's the most efficient mechanism and where they feel  
9   the best place is, given their resource and what they  
10  want to do to interconnect to our system.  We also have  
11  some kind of guiding principles, though, as well, that we  
12  try to help -- you know, there's a transmission ranking  
13  cost report that's part of the CPUC process that we also  
14  provide, as well as I believe in our solar PV  
15  solicitation we also kind of provide a map with potential  
16  areas that they could look to explore, but there is this  
17  kind of walled off issue that our transmission side of  
18  the house handles separately, all that interconnection  
19  process.  So it's slightly different than SMUD.

20                  COMMISSIONER MCALLISTER:  Okay.  Well, so -- oh,  
21  yeah, sorry.  Go ahead.

22                  MR. WALSH:   Sure.  No problem.  There is an  
23  interconnection map offered by SCE on our website that  
24  gives sort of available capacity on certain circuits.  
25  Part of the problem is you make that public, that's where



1 everybody goes, and now you're just having a bunch of  
2 people competing for the same area. We do measure, as  
3 part of our solicitations, the transmission costs  
4 associated with, and we only measure the costs that are  
5 paid by our customers through the Transmission Access  
6 Charge, the network upgrades. All the other costs, the  
7 distribution upgrades, those are the ones that are paid  
8 directly by the generator. We still -- the customer  
9 still winds up paying for it, it just winds up in the  
10 energy price that they bid to us, so it's all accounted  
11 for, it's just a matter of where we're taking care of it.

12           From a congestion standpoint, that's a whole  
13 other question. Our philosophy has been you look towards  
14 -- is the generating facility contributing towards  
15 localized congestion in an area, in a sense, are they  
16 interconnecting as a fully deliverable project? Or is  
17 the amount of transmission being built out where they can  
18 actually be delivered to load? If they are, then there's  
19 no congestion adder associated with the project; if they  
20 are interconnecting energy only, we do add a congestion  
21 adder.

22           COMMISSIONER MCALLISTER: Then, so thank you,  
23 so I guess maybe it's a little bit -- SMUD, if you can  
24 give a little bit -- Jim -- you could talk a little bit  
25 more about SMUD's process and why it's sort of easier. I

1 know you're an integrated house in many ways, but why are  
2 you a little more flexible on the communication to  
3 potential developers on siting -- or, if you are, maybe  
4 you're not.

5 MR. TRACY: Well, I think that, first of all,  
6 we work very closely with our Board. The Board puts  
7 together pretty clear policy directives for the staff,  
8 and so in trying to enact that, we try to work with the  
9 community, we try to work with, in this case, the Board  
10 wanted the feed-in tariff, they wanted it to be  
11 successful. And one thing that we saw was we get a lot  
12 of bids, and we're talking about not the congestion, but  
13 really down to the 12 kV circuits, the distribution  
14 circuits. And you know, the developer is doing all of  
15 that work and putting a proposal together, then we tell  
16 them, "Oh, by the way, we just added 20 percent to the  
17 cost of your project because we've got facilities that we  
18 have to put in here," that we thought it was just better  
19 in this particular instance to facilitate it through  
20 putting that out on the table and saying, you know, "You  
21 guys, just be aware that these are the circuits that work  
22 and these are the circuits that don't work." So I think,  
23 more than anything, it's probably just, you know, the  
24 size of the utility, it allows us to be a lot more  
25 collaborative within the utility, but I think it's also

1 just the approach that SMUD has in dealing with the  
2 community and with suppliers like that.

3 COMMISSIONER MCALLISTER: Okay. Thanks. One  
4 other question. So how helpful would it be -- so we  
5 talked a little bit about differences between  
6 technologies and solar thermal having better ride-  
7 through, and sort of the time range issues that impact  
8 your planning or make it more difficult, so the  
9 Commission has been funding and other work is going on to  
10 enable more predictive capacity on solar resource in the  
11 very near term, sort of hours ahead, even less ahead kind  
12 of thing, how much value do you see that having in your  
13 planning and your ability to maintain reliability while  
14 incorporating more renewables? Like sort of what role  
15 does that very near term predictive capability -- could  
16 that have -- say, for PV?

17 MR. LEWIS: Are you talking specifically about  
18 adding storage such that you can --

19 COMMISSIONER MCALLISTER: No, I'm just talking  
20 about, okay, there's a cloud coming off the coast that's  
21 going to -- forecasting, near term, yeah, forecasting the  
22 PV output based on immediate weather.

23 MR. LEWIS: Obviously, that would be extremely  
24 helpful, you know, to manage some of this intermittency.  
25 I think the big question that we have is exactly what

1 level of intermittency are we going to see, so we're kind  
2 of predicting for what the future may be. We have a  
3 tremendous amount of resources that are coming on line  
4 over the next couple of years, and there's just a lot of  
5 hypothesis as to what that may represent. Some of our  
6 preliminary analysis shows that some of the intermittency  
7 might be as much or greater than \$7.50 a megawatt hour,  
8 as we've talked about in this morning's presentation, but  
9 it's difficult to really quantify what that is, so we  
10 need to, I think, look at a point where we've got to see  
11 how this system actually develops over the next couple of  
12 years, and the next couple of years are going to be  
13 absolutely critical to where some of these costs may or  
14 may not appear, and then what are the most efficient ways  
15 for managing some of those costs and managing some of  
16 those issues.

17 MR. WALSH: Too much said, it certainly would  
18 be helpful, our Operations Group has a fair amount of  
19 weather forecasters, I don't know if they get down to the  
20 cloud level, but our Operations Group is pretty heavily  
21 involved in that. But again, I think just in general  
22 it's an important component that needs to be considered  
23 when making our procurement selections going forward in  
24 terms of what the integration impact will be on a solar  
25 PV, or wind heavy type portfolio.

1                   COMMISSIONER PETERMAN: Thanks. And I'm going  
2 to tee up a question for later and then return back to  
3 David for his list of questions, but you just started to  
4 touch on this. I was thinking about what are the  
5 policies that the utilities -- in particular, but also  
6 the State -- can pursue to reduce costs, and one just  
7 being mentioned is -- or what activities can one engage  
8 in that you can effect and one that would be forecasting,  
9 for example, to be able to have a better prediction about  
10 intermittency and reduce those costs. And Randy touched  
11 on one, just their policy of at least with one of their  
12 solicitations having an open and continuous process and  
13 then allowing that as an opportunity for bidders to come  
14 back with lower costs. So I would ask you all to think  
15 about particular policies that you're currently engaged  
16 in to reduce renewable costs, as well as potential future  
17 ones. But, David, back to you and your questions.

18                   MR. VIDAVER: Thank you. You've alluded to the  
19 fact that integration costs enter into your evaluation  
20 because of CPUC decision, and that the CPUC -- Mr. Simon  
21 said that the CPUC is looking at this. Can you just  
22 quickly summarize what those integration costs are, not  
23 numerically, but just what are the integration costs that  
24 you incur, that you don't value, or are not allowed to  
25 value? One could think of incremental ancillary service

1 needs and when you say you would like to incorporate  
2 integration costs into your bid evaluation, exactly what  
3 are you referring to?

4 MR. LEWIS: Well, I think that's really the big  
5 question is exactly, what are those costs? And right now  
6 we're at a phase of, you know, at PG&E we're at about 19  
7 percent with our current RPS target, you know, going  
8 toward 33 percent. And over the next couple years is  
9 when -- I think I added it up the other day -- we have  
10 something like 1,900 megawatts of solar PV coming on line  
11 and 1,800 megawatts of wind coming on line, so we're  
12 going to find out what exactly those costs are, you know,  
13 whether we like it or not, and that's one of the key  
14 things is, right now, it's just speculative. There is  
15 certainly, you know, if you look at any kind of solar PV  
16 profile, you know, one cloud moves over and it moves up  
17 and down like a needle, and that has a cost on the  
18 system. I don't think there would be anyone that would  
19 dispute that. But it's one thing to recognize a cost,  
20 it's another thing to quantify it and prove, then, that  
21 you can manage that cost more effectively. So that's the  
22 big question that we really need to solve as our  
23 portfolio changes and moves towards the 33 percent.

24 MR. VIDAVER: Can I ask a clarifying question,  
25 too? So, if intermittency -- as the cloud moves over,

1 the costs you're referring to is need for regulation, I  
2 would assume?

3 MR. LEWIS: I'm not the operations guy, so  
4 you're probably asking the wrong guy, but you know, I  
5 know when we're talking to our operations people, and I  
6 present them with the next renewable contracts that my  
7 team is responsible for signing up for, they're very  
8 concerned about what's going to happen, how this next  
9 piece is going to add to the volatility that they're  
10 expecting, if it's solar PV, and even to some degree  
11 wind. Now, similar to a lot of other people, we're  
12 trying to work with other counterparts to better  
13 understand what are the capabilities of some of their  
14 systems. And there's been a lot of advances, and I know  
15 in kind of the wind side, where you can change around  
16 some of the turbines, and you can modify it and you could  
17 to some degree manage their dispatchability, if you will,  
18 but I think we're still a long way away from making that  
19 happen. And, still, as I started with our opening  
20 comments, our contracts still are based on a dollar per  
21 megawatt basis, so the developer only gets paid as  
22 they're producing, so there's kind of disconnect in  
23 between how maybe the market is structured and at least  
24 some of these contracts are structured, and actually from  
25 an operations standpoint, too, which you may or may not

1 need to achieve.

2 MR. WALSH: I think the big driver in those are  
3 the ancillary services necessary in order to integrate  
4 these resources, especially if you're going out and these  
5 are 20-year agreements, and as the portfolio grows,  
6 there's more intermittent resources, the question is, do  
7 we have enough flexibility capacity on the grid in order  
8 to serve all these additional intermittent resources?

9 MR. HOWARD: This is Randy, if I could -- could  
10 I add a little bit to this?

11 COMMISSIONER PETERMAN: Yeah, Randy, you should  
12 jump in when you want to because it would be hard to  
13 acknowledge you, always.

14 MR. HOWARD: Yeah. So I think I brought up  
15 some issues the other day in one of the other IEPR  
16 workshops, is we have been looking closely at some of the  
17 PV systems, you know, just the puffy cloud cover that  
18 causes them to go from 50 megawatts to 10 megawatts in a  
19 manner of less than a minute, and so as we're looking as  
20 a utility to ensure that we have the capability of  
21 integrating that, and similar to PG&E, you know, we've  
22 never operated at these levels of renewables in our  
23 history, so there's a big learning curve for all of us,  
24 and our operators continue to get nervous every time we  
25 add another project. But they look at this going from,



1 say, a 50 megawatt to a 10 megawatt of a single site, and  
2 that has a particular risk profile that we try to  
3 incorporate. So when we talk some of these larger PV  
4 solar projects, maybe 200-250 megawatts, our operations  
5 folks get quite concerned because they believe our cost  
6 of integration on that large-scale is a little greater  
7 than it would be if we did a whole bunch of, you know, 10  
8 megawatt projects distributed around various areas. So  
9 we do look to minimize the cost to our ratepayers, being  
10 in different solar basins to try to ensure that we're not  
11 stuck on one day with a lot of different intermittency  
12 for the bulk of our system. And we also, as we look at,  
13 say, putting in peakers, we've determined that our  
14 peakers really won't accommodate the intermittency of  
15 solar PV, it's going to help us with the integration of  
16 our wind, but not really with our PV, they're just not  
17 going to be fast enough, and we're going to have to rely  
18 on spin or some of our hydro assets, and so we're trying  
19 to factor in what would be the cost. So the solar PV  
20 systems, by far, for us, in our studies to date seem to  
21 indicate that they are going to be our highest cost  
22 integration. The obvious benefit, though, of the PV is  
23 they're typically generating when we can use that energy  
24 the most.

25 MR. TRACY: This is Jim Tracy and I would

1 agree with Randy that the solar is a big challenge and,  
2 as an example, within our service area, if we have X  
3 amount of solar that is expected to be on through the  
4 peak, we probably have to reserve some of our hydro that  
5 we otherwise would have been running on peak at the most  
6 optimum time in terms of releasing that water. To the  
7 extent we didn't have to use the hydro to fill in, we  
8 have water that's been moved from on peak to a less  
9 desirable time period. And so that's just one of the  
10 ancillary service-type costs and how it manifests itself.

11 Just a comment that I would have is, beyond  
12 ancillary services, the cost of transmission for all the  
13 renewables in the state -- and I think SMUD has been  
14 pretty clear that getting really clear policy direction,  
15 what are the policy goals of the State, as opposed to  
16 specific mandates on how we get there, just like any  
17 market, if you begin to constrain the ways that you can  
18 reach a policy goal, then you're going to have a less  
19 optimal solution, it's going to be a more expensive  
20 solution. So if we're building transmission so that we  
21 can bring power in in Southern California, as opposed to  
22 using unloaded intertie capacity, bringing it in from out  
23 of state, obviously that's going to increase the cost.  
24 And so you have to say, "What's the policy decision on  
25 that? Is it for jobs?" And if it's for jobs, then

1 somebody really needs to do the study on how much is the  
2 transmission and all of the renewables being built in the  
3 state adding to the cost of the renewable bill here in  
4 California, and what does that do to all the other  
5 industries outside of the green industry? And look at,  
6 on a net basis, what's happening to jobs. Because I  
7 think that, really, if the State could get more focused  
8 on what are the policy priorities, then we could have a  
9 better way of assessing what's the best approach to doing  
10 this, as opposed to just trying to optimize a sub-optimal  
11 portfolio.

12 COMMISSIONER PETERMAN: This is Commissioner  
13 Peterman. And, Jim, you probably heard me say this  
14 before, but regarding the policy goals, just in the most  
15 recent RPS legislation, there are nine pieces of intent  
16 language there with different goals, including -- and not  
17 one of them, actually, is explicitly jobs -- but  
18 displacement of fossil fuel, local air pollution, climate  
19 -- you know, and greenhouse gasses -- and so I think  
20 we'll come to a point where there's not -- it's going to  
21 be hard to prioritize among some priorities, but your  
22 point is well taken.

23 I just want to make an observation, and then  
24 we'll continue further discussion, that we've heard both  
25 in the panel earlier this morning and today that we've

1 just seen that there has been a switch to solar PV  
2 because some solar thermal, we've seen more investment in  
3 solar PV because the technology costs are coming down.  
4 But then we've heard from the panelists today that the  
5 integration costs for solar PV may be the highest, or may  
6 be the most uncertain, but those are not yet being  
7 considered. And so it does bring to mind a general  
8 concern that, when we look at all-in costs, how do the  
9 technologies compare across each other? And are we  
10 investing in the technology primarily that will result in  
11 greater costs in the future. It's more a statement than  
12 anything, but if you have anything to say on that, feel  
13 free.

14 MR. WALSH: I think the recent decision at the  
15 CPUC -- or, excuse me, the recent ruling -- was a step in  
16 the right direction to figure out what the true costs and  
17 benefits for all these technologies are.

18 COMMISSIONER PETERMAN: And, Jason, just a  
19 quick question, can you speak to the timing on starting  
20 to consider these integration costs, and to what extent  
21 they might be eventually considered in the solicitation  
22 criteria?

23 MR. SIMONS: Well, sure. There's a number of  
24 things happening. On our end, we -- I think it's  
25 published in the Commissioner's Ruling three months ago

1 for, I guess, the initialization of the 2012 RPS  
2 Procurement Plan. Within there, there were a number of  
3 staff proposals, one of which was the need to basically  
4 standardize the NEM market value calculation, or as  
5 Southern California Edison calls, Renewable Premium  
6 Calculation, it's basically the value of the project, so  
7 that's the first thing we're doing. The second thing  
8 we're trying to do is we're trying to incorporate all  
9 these costs that we think are going to be important where  
10 we're looking out 20 years, such as integration costs,  
11 obviously the value of ancillary services for that  
12 perspective. So that's the first thing we're doing. The  
13 second thing that's happening is more in the LTTP track,  
14 and there continuing to study what the integration needs  
15 are for the State, and they're coordinating with the IOUs  
16 and California ISO. And I understand that there may be a  
17 decision out next year with respect to what the  
18 integration needs for the state are. As of now, as Bill  
19 was saying, the Commission has ruled through a recent  
20 decision that there is no need for integration.

21 MR. VIDAVER: I don't want people to hear me  
22 breathing while everyone else is talking, so I shut this  
23 off. You mentioned that the capacity value of resources  
24 is going to depend on the whole portfolio of resources  
25 that we have at our disposal. And I assume that the

1 capacity value of resources within a utility portfolio is  
2 going to depend on what's in that portfolio. I took the  
3 liberty of looking at load chips for the PG&E and Edison  
4 TAC areas on high load days in 2009, 2010 and 2011, and  
5 one thing struck me, that the difference in load from the  
6 peak to 6:00 in PG&E, it was only about 300 megawatts on  
7 high load days. And it was only about 800 megawatts to  
8 7:00, by which time you're getting very little solar. So  
9 is there -- does the CPUC and the utilities believe that  
10 the look at resources going into a utility portfolio,  
11 with an unchanging capacity value for some of these  
12 resources, can continue at very very high levels of  
13 intermittent integration? Certainly, you're going to  
14 look at that in LTTP, I'm just wondering if either of  
15 Edison or PG&E have looked at that in the context of  
16 their own portfolios. PG&E has about a 300 megawatt  
17 drop. Edison, on the other hand, generally experiences a  
18 very severe load drop in the two hours after peak. But  
19 in PG&E's case, it's less than that. Has PG&E looked at  
20 the -- you said you have 1,900 megawatts of photovoltaics  
21 in your portfolio already, and I imagine there's more  
22 coming down the pike.

23 MR. LEWIS: We have 1,900 that's kind of going  
24 to be coming on line over the next couple years, and  
25 that's one of the things we're looking at is, how is our

1 load peaks going to shift as this solar PV comes on line?  
2 And that's one of the things that we need to better  
3 understand -- what is the total impact going to be to our  
4 system? It's going to be that, you know, our traditional  
5 load has kind of peaked in the 4:00 to 6:00 p.m.  
6 timeframe, and it's going to be interesting, is that  
7 portion, as solar PV starts to decrease in its output,  
8 what impact does that then have? And then, also, in the  
9 morning hours, as well, we're concerned about what's  
10 going to happen in the morning hours as the solar PV  
11 comes on line, with the sun coming up, but necessarily  
12 our load might not have caught up to it, too. So we're  
13 looking at and running scenarios as to what that may mean  
14 for our system, but it's got to be coupled, then, I think  
15 with what's going to be the real world experience, too,  
16 not just in the analysis side.

17 MR. TRACY: Well, I was just going to say that,  
18 you know, at SMUD, what we're looking at is not just the  
19 supply side resources and how that's going to deal with  
20 the peak and solar energy. In our service area, the peak  
21 happens around 6:00, obviously it's a problem with solar  
22 maybe at 25 percent of output at 6:00 in the summer, but  
23 when you combine the solar with the load, what you end up  
24 having is a much narrower peak, in effect. And so when  
25 you begin looking at that, there are some opportunities,

1    then, around load management and demand management.  It's  
2    very challenging to work with your customers when they  
3    have to manage load across a five or six-hour peak, in  
4    order to get the load reduction.  But if you've got a lot  
5    of solar and it's basically pushing your peak into a much  
6    narrower range, then you've got a lot more options open  
7    to you in terms of working with your customers to manage  
8    their load for an hour or two hours.

9                   And so that's one of the things that we're  
10   going to be studying and looking at, and potentially  
11   designing the management programs around if the system  
12   evolves in that direction.

13                   COMMISSIONER PETERMAN:  A quick -- I'm sorry,  
14   if you were going to respond?  A question?

15                   COMMISSIONER MCALLISTER:  I really like where  
16   you're going with that because I feel like this  
17   integration at both the customer level and potentially at  
18   the circuit level, or whatever appropriate level in the  
19   utility is kind of a key -- it's an interesting idea that  
20   needs a lot more thought going forward, and particularly,  
21   say, at the customer level if you have -- I mean, we've  
22   mostly been implicitly talking about, you know, largish-  
23   scale renewables here and the RAM procurements and etc.,  
24   but you could scale this idea talking about mixing demand  
25   management, you know, whether it's demand response or



1 whether it's sort of aggressive energy efficiency, or  
2 customer-based DR, or whatever, with distributed  
3 renewables or just renewables, generally. So I like -- I  
4 feel like that doesn't happen in the marketplace as much  
5 as it could. I'm wondering if any of you work with your  
6 customers really to offer at the more distributed level  
7 that kind of an integrated solution and, meaning, if they  
8 want to put on some kind of self-generation, whether it's  
9 solar, or whatever, that could be complemented very well  
10 with some kind of demand response such that, since solar  
11 generally is not considered to be a firm resource, you've  
12 got a couple days of it month-to-month, in the middle of  
13 summer, where you're going to have less capacity than the  
14 design capacity of that system, could you chime in at  
15 that point with a control event, you know, Demand  
16 Response, or some other kind of resource that would allow  
17 the customer not to be regularly impacted, but would also  
18 harvest the self-generation that you put in and enable  
19 you to manage your grid at the same time. I guess, so  
20 I'm pulling the discussion slightly down to the  
21 distributed level and asking more about the integration  
22 of programs at the customer level for the utilities. And  
23 if the PUC has anything to say about that, that would be  
24 welcome, too, sort of the program integration. I think  
25 it's a powerful idea that we're just kind of getting

1 started thinking about at the programmatic level.

2 MR. SIMON: Well, I think if I'm following it  
3 correctly -- and this kind of dovetails into the Cost  
4 Containment Initiative that Brendan could talk about,  
5 something that we're going to be implementing probably  
6 sometime next year, so we recognized at the Commission,  
7 at the CPUC, that Cost Containment for 30 percent  
8 legislation is a foregone conclusion. You know, as Dave  
9 was saying, most of the utilities at this point have  
10 procured largely resources for 33 percent, but that  
11 doesn't necessarily mean that all of them are going to  
12 come on line, there's obviously risk associated with  
13 project failure. Nonetheless, because we are going to be  
14 implementing legislation next year, we do keep in mind  
15 that, you know, the broader perspective at the CPUC is to  
16 look at things from a resource planning perspective, so  
17 we want to make sure that the Cost Containment initiative  
18 that we are going to be implementing is going to  
19 complement the longer term resource planning initiative  
20 for the State, and from that perspective we are going to  
21 be looking at loading order, and we are going to be  
22 looking at where renewables fits in at that particular  
23 loading order, essentially -- which gets to your  
24 perspective of, you know, looking at energy efficiency  
25 vs. demand response options vs. renewable energy and

1 seeing how they could work with one another, seeing how  
2 they could be integrated, and seeing what the net  
3 economic benefit are of obviously various portfolios.

4 COMMISSIONER PETERMAN: Since we have about a  
5 little over 15 minutes left for this panel, I wanted to  
6 ask a question, as well as suggest to the Moderator that  
7 we open it up to a couple audience questions. You  
8 touched a bit, Jason, on the issue of project failure and  
9 uncertainty, and I was just wondering if anyone would  
10 offer a perspective about what costs are incurred because  
11 of lower project certainty and kind of thinking again  
12 about what are things we can do at the State level that  
13 can provide some more certainty, whether it's through the  
14 planning process, or something like that, or whether  
15 there is a real measureable cost associated with them.

16 MR. LEWIS: Well, one of the things that we see  
17 and it's kind of interesting about the kind of open-ended  
18 procurement that some of our colleagues have, I think was  
19 LADWP was saying that they were kind of leaving things  
20 open. We're trying to shorten and contain our things.  
21 We've been very consistent over doing a number of  
22 different solicitations, and anything that we can do to  
23 shorten the length it takes not only just to close a  
24 solicitation, but also on the approval process, you know,  
25 adds to greater certainty that the projects are going to

1 be able to go forward and then adds to them to be able to  
2 price something that reflects the current market at that  
3 time, as opposed to having it take a number of months, if  
4 not up to a year, even, to get something approved, and  
5 what can change in the market during that time that can  
6 blow up what was a solid deal. So those are some of the  
7 things I think are, you know, the low hanging fruit in  
8 which to improve the process.

9 MR. WALSH: I would parrot that. One of the --  
10 I think the easiest way to bring more certainty in terms  
11 of the cost and the success rates on projects is contract  
12 approval; I think we're starting to see a market response  
13 where there's a little more nervousness on attaining CPUC  
14 approval with respect to contracts.

15 MR. TRACY: I think certainly at SMUD, one of  
16 the criteria that we used to determine which projects we  
17 selected as the probability in our estimation of whether  
18 the project was even going to go forward, so we might  
19 have paid a little bit higher price for one of the  
20 projects we selected, but it was a project that was  
21 already permitted and they had financing and were ready  
22 to go vs. one that was a concept that was quite a bit  
23 cheaper. You know, we've been through that mill before,  
24 so it was a big consideration in our screening for  
25 ultimately the projects that we chose.

1           COMMISSIONER PETERMAN: I know, Randy, if you  
2 have a comment -- but I also wanted to ask Brendan, since  
3 you have not been as much the focus since you are not a  
4 utility, I wondered if you had a comment or question for  
5 any of the utilities.

6           MR. PIERPONT: Well, I just wanted to maybe  
7 highlight a few of the kind of thoughts and takeaways  
8 from looking at other states' experiences that we were  
9 thinking about, that might be useful in the California  
10 context, and I would love to get kind of your  
11 perspectives on this, as well.

12           So the first is, I mentioned a little bit  
13 before kind of the cost limitation exercise is not  
14 necessarily going to get you cost-effective policy, and  
15 so maybe some suggestions from your point of view on  
16 which policies are actually driving more cost-effective  
17 procurement when you're thinking about these, given that  
18 California does have a pretty broad suite of procurement  
19 policies in place.

20           The next is that the cost limits should  
21 probably be set in a way that's consistent with expected  
22 costs of the RPS, and a lot of other states tend to pick  
23 kind of politically palatable cost limits, so I would say  
24 a one or two percent rate impact over X number of years,  
25 where that might be inconsistent with even an estimate of

1 costs to achieve an RPS. And so just some thoughts about  
2 kind of, I guess, which risks California ratepayers  
3 should be bearing, and which ones are appropriately  
4 managed by the IOUs, and which ones should California  
5 ratepayers just not be exposed to at all. I'm thinking  
6 here about things like Federal policy, or technology  
7 costs.

8           And then some ideas on a lot of cost limits in  
9 other states have been pretty poorly defined in how  
10 they're calculated and what assumptions go into the  
11 calculations, so maybe this might be an opportunity to  
12 talk about kind of the value of, I guess, a flexible  
13 calculation vs. something that is hard and set may be  
14 useful there. But, overall, I guess.

15           MR. LEWIS: Well, I think on maybe kind of the  
16 overall Cost Containment aspects of it --

17           COMMISSIONER PETERMAN: Your colleague is up  
18 there, by the way.

19           MR. LEWIS: Good, I'll let her take that.

20           MS. WINN: Valerie Winn from PG&E. I did tell  
21 Dave that he's our procurement expert, but I would save  
22 him from the Cost Containment mechanism questions.

23           COMMISSIONER PETERMAN: And we are going to  
24 delve into that more so in the rate panel, but please.

25           MS. WINN: Uh huh, no, and I think as Jason and

1   Brendon have noted, a lot of the work on developing that  
2   Cost Containment proposal, we're just getting started.  
3   Certainly, the mechanism that was in place under the  
4   earlier 20 percent program, you know, utilities could  
5   procure up to -- I think we may have had -- it was less  
6   than a \$1 million that utilities were supposed to spend  
7   collectively above the market price referent, and of  
8   course, I think we blew through that with only four or  
9   five contracts, but then continued to voluntarily  
10  procure.

11               So under the 33 percent mechanism, what we're  
12  looking at, and there's still a lot of work to be done  
13  here, but certainly at the outset, having a cap that gets  
14  updated constantly is not workable, you never know what  
15  target you're working towards. So we would like a cap  
16  that is set at one point in time, and that becomes our  
17  budget for the program, and it remains fixed, and we work  
18  towards, you know, filling in that cap so that our  
19  customers know what to expect from a rate impact  
20  perspective. You know, it needs to be clear as to what  
21  counts towards the cap -- is it integration costs, as  
22  well as the generation costs, as well as incremental  
23  transmission and distribution upgrade cost? You know,  
24  and it needs to be a meaningful -- a clear, stable and  
25  meaningful cap. And it also needs to be easy to

1 administer. You know, sometimes we make things a lot  
2 more complicated than they need to be, and I have to say  
3 the MPR and the supplemental energy payments and all of  
4 that, it was interesting, but it was rather complicated  
5 and difficult for those who aren't steeped in energy  
6 policy to understand. So those really are clear -- are  
7 overarching principles, clear, stable and meaningful,  
8 easy to administer, and that it's fixed at the beginning  
9 of the program and, once it's done, we have other  
10 alternatives that we look at.

11 MR. TRACY: I'll just mention quickly, you  
12 know, with SMUD I think in terms of cost -- and we're not  
13 involved in the Cost Containment proceeding or issue, but  
14 I think the thing that we are concerned about the most is  
15 what resources we build that are going to support the  
16 renewables, that's going to over the long run be a very  
17 very big component of the overall cost of doing the  
18 program. And when we're looking at -- I mean, we're  
19 actually looking at a hydro pump storage facility, we're  
20 looking at a compressed air storage in an old gas field,  
21 we're looking at gas turbines, but when we look at all of  
22 those, one of the things that we try to keep in mind is  
23 that, if we've got an energy market that is changing as  
24 fast as it is, what do those technologies look like in  
25 terms of economics in 20 years, or 15 years? Because the



1 concern we have is you build a pump hydro storage and you  
2 base it on some ancillary service value, and then in 10  
3 or 15 years, electric transportation somehow is providing  
4 some of that ancillary service, and the value of that  
5 service has gone down in the market, and now you've got  
6 an asset that you still have to pay for, but it isn't  
7 needed in the same way as it was when it was first built  
8 or you thought.

9           So it's a difficult -- very difficult decision  
10 making process, but I would say that, between the  
11 ancillary services and the transmission that is planned  
12 in the state, and how that transmission -- because it's  
13 spread out in one charge, and the developers don't  
14 necessarily see the cost of transporting the energy from  
15 some remote site to the system, you get false signals.  
16 And those are going to be two of the very biggest costs  
17 that the consumer is going to see, as opposed to just  
18 necessarily the renewable projects themselves.

19           COMMISSIONER PETERMAN: Randy, anything on the  
20 line?

21           MR. HOWARD: Yeah, I guess a couple things  
22 related to cost and integration. I think -- and PG&E  
23 pointed it out, as well, and I've made that statement,  
24 the next couple of years are going to be fairly critical  
25 to all of us as we add kind of that next big batch. I

1 think getting to 20 percent, we were able to utilize a  
2 lot of the infrastructure that was built by our  
3 predecessors and ratepayers have paid for a lot of that  
4 already. I think this next big grouping of projects to  
5 meet the next goal will come where systems aren't going  
6 to be so optimal, and I think as we do more of the  
7 transformation and transition, there is an expectation  
8 that we're going to have greater inefficiencies in our  
9 operations in order to be reliable. And so it's probably  
10 beyond 2015, 2016, until we can probably tune up our  
11 systems -- and I think that's where the greatest  
12 opportunity is going to be in some of the CEC activity  
13 and in some of our technology improvements. I think the  
14 grant funds that you put out there, as people come up  
15 with better ways of predicting the wind and the solar  
16 indices, and then how we fine tune the systems with  
17 storage, or other types of technologies is going to be  
18 very critical. But I would assume -- and we're trying to  
19 let our governing bodies know that we're probably going  
20 to increase our inefficiency in the next few years just  
21 to ensure that we can keep the lights on, but it's going  
22 to be costly to our ratepayers. They're going to see a  
23 higher cost than they would have to if maybe we weren't  
24 moving so quickly in some of these new projects, but it's  
25 just going to be the cost of doing it.

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1           COMMISSIONER PETERMAN: Thank you, Randy. I  
2 think we have time for one or two audience questions if  
3 there is anyone who has one. If so, come to the  
4 microphone.

5           MS. BROWN: Hi, there. My name is Elise Brown.  
6 I'm with U.C. Davis Energy Institute, the California  
7 Geothermal Collaborative. And there are a couple  
8 questions out there that I still am wondering what the  
9 answers might be. It seems like the conversation today  
10 has focused a lot on PV and the intermittency, and wind  
11 and the intermittency, and I'm wondering for the IOUs,  
12 when you issue an RFP, an RFO, the proposals that you  
13 get, do you get many geothermal? And if so, how do you  
14 evaluate those?

15          MR. WALSH: In our large solicitation, we've  
16 received a number of geothermal bids. How do we evaluate  
17 it? We basically follow the same formula for all  
18 technologies. We're technology agnostic, I would say, in  
19 our selection, it's the value proposition, and hopefully  
20 we're measuring all the costs and benefits from a  
21 project. So they're going through the same evaluation  
22 process -- you know, I keep sort of harping on it -- but  
23 the one piece that's missing is the integration costs  
24 that would put a geothermal, with all things being equal,  
25 and a better competitive advantage vis a vis a solar PV,

1 but it looks like that's something we're going to change.  
2 I will say this, though, a lot of this discussion -- I  
3 sort of haven't touched on it yet -- the value  
4 discussion, measurement integration, all these costs, the  
5 place we're getting it the most is in the large  
6 solicitation; the valuation process in the other  
7 solicitations is very different and don't necessarily  
8 include all of these, and some don't need a valuation at  
9 all. So we make sure there are a number of other  
10 procurements where a lot of these things aren't being  
11 considered, where a lot of discussion has been focusing  
12 around the annual large solicitations, but there are many  
13 other procurement programs.

14 COMMISSIONER PETERMAN: That's a good point.  
15 Thank you for that.

16 MR. TRACY: I could just say real quickly,  
17 because SMUD is a smaller utility, when we look at a  
18 geothermal base loaded plant, and it's a fixed price per  
19 kilowatt hour, we look at how it fits against our retail  
20 load and, for SMUD, many of the geothermal projects  
21 beyond what we already have procured would be surplus in  
22 the low load hours, and for us that would mean that  
23 portion of the renewable contract would act like a  
24 merchant plant. And it produces a lot more risk because  
25 you're pushing some resource out into the market at that

1 time, you're paying a fixed price, you're taking a  
2 variable market price, and it adds a certain amount of  
3 financial risk to take on a project like geothermal  
4 against our load shape.

5 COMMISSIONER PETERMAN: Great. Well, I know we  
6 have people with other interests and questions, but I  
7 said one or two, and we hit 2:15, so I'm going to keep it  
8 at one, but there will be a public comment period right  
9 after the next panel. And so thank you very much to all  
10 the panelists. We didn't explicitly get to the question  
11 I set for the future, which was what type of policies are  
12 utilities currently pursuing, the heat cost load, but if  
13 you can comment on ones you may not have mentioned in  
14 your comments after the fact, greatly appreciated. Thank  
15 you very much, David, for your moderation and your  
16 organization of this panel.

17 MS. GREEN: Commissioner, before I introduce  
18 our next speaker, I'd like to ask if it's okay to request  
19 our third panelists to come up and sit at the table now  
20 when we're down.

21 COMMISSIONER PETERMAN: Yeah, it's perfectly  
22 okay. And everyone else might as well stand up and  
23 stretch for a second as we get set up.

24 (Off the record at 2:12 p.m.)

25 (Back on the record at 2:16 p.m.)

1           COMMISSIONER PETERMAN: We're entering now into  
2 our third panel, we had a good discussion about costs,  
3 and how they're not necessarily the same as prices, and  
4 we know that neither of them are the same as rates, and  
5 so looking forward to better understanding how these  
6 costs might be reflected in rates, and whether there are  
7 policies that the State can pursue that will ease the  
8 transition. Thanks.

9           DR. BORENSTEIN: Okay, thank you very much. So  
10 I'm going to say a few words about electricity rates and  
11 a system with high renewables penetration. Basically,  
12 these are more general comments about rate design  
13 targeted at how do you recover increasing costs due to  
14 greater renewables penetration.

15           Of course, there is the approach of a basic  
16 flat volumetric charge that would equate to average cost  
17 in order to recover those costs. The problem that we see  
18 there, one is that it likely sets price above marginal  
19 costs in many periods. Also, that approach is going to  
20 exclude un-priced pollution externalities which are  
21 generally going to be the case; most of the U.S. uses  
22 this approach, that is, in most of the U.S., utilities  
23 recover their costs through volumetric charge. Utilities  
24 aren't generally very happy about this because that  
25 charge doesn't correlate very well with their costs. A

1 large share of their costs are fixed, and therefore they  
2 are inclined to include a fixed charge which is used  
3 widely in the U.S., but not very much in California.  
4 That more accurately reflects the nature of fixed costs,  
5 including the transmission distribution fixed costs,  
6 billing, and so forth. It has the potential problem that  
7 if there are actually un-priced externalities, you could  
8 get prices below the full social marginal costs,  
9 including those externalities, and then there's always a  
10 concern about low-income customers who are often  
11 associated with low consumption customers, which I'm  
12 going to come back to in just a minute. And of course, a  
13 fixed monthly charge on the residential side tends to  
14 hurt people who are low consumption customers.

15 In California, we have Increasing-Block  
16 pricing, which I'm going to spend a few minutes on, and  
17 then there's a widespread discussion of greater use of  
18 Time-Varying pricing. Let me start by talking about  
19 Increasing-Block pricing, this is just to remind  
20 everybody what it sort of looks like, this is actually  
21 Southern California Edison's tariff a few years ago. But  
22 we still have these sorts of tariffs where the high  
23 blocks are price three times as high, for instance, as  
24 the lowest block. One question is does this really send  
25 the right electricity price signals? And then another

1 concern is how does this affect low-income customers.  
2 Let me about the efficiency impacts, that is, sending the  
3 right price signals, ideally we would want a price to  
4 reflect the full cost, marginal cost, that consumption  
5 imposes on the system at every point in time.  
6 Increasing-Block pricing really bears no resemblance to  
7 that. There's really little or no evidence -- and I'll  
8 come back to the very little evidence -- that people who  
9 consume more actually -- households who consume more  
10 actually impose higher costs per kilowatt hour on the  
11 system. To the extent there's a slight difference in the  
12 average timing, it might justify a one or two-cent  
13 increase block as you get from low to high consumption,  
14 but nothing like what we have now. So Increasing-Block  
15 pricing really doesn't bear any relationship to the  
16 incremental cost.

17           One motivation has been to encourage  
18 conservation, which I'll speak to in just a second.  
19 Another one, which I'll come back to in a moment, is that  
20 Increasing-Block pricing protects low-income customers  
21 from rate increases, and this was clearly the motivation  
22 during the California electricity crisis with AB1X where  
23 they allowed higher tier prices to go up, while freezing  
24 lower tier prices. And if you look back at the  
25 legislative history, certainly the discussion was about



1 protecting low-income customers.

2           On the efficiency side, this idea of motivating  
3 energy conservation, the idea is that with very high  
4 incremental prices, it'll get people to cut back. That  
5 concept could make sense potentially if people really  
6 focused on those marginal prices, but of course, if you  
7 asked the average person on the street where they are in  
8 the Increasing-Block schedule, they will have no idea  
9 what you're talking about; most consumers don't even know  
10 we have Increasing-Block pricing. My former graduate  
11 student, Koichiro Ito, who is now a post-Doc at Stanford,  
12 wrote a really excellent paper looking at this  
13 empirically, and concluded that, by comparing customer  
14 behavior over rate changes in adjoining utilities, that  
15 customers really aren't responding to marginal prices.  
16 They're much more responding to average prices, or total  
17 bill. This has some pretty important implications for  
18 the conservation effect, in fact, he does some  
19 simulations from his econometric results and finds that,  
20 given the response he finds the effect of Increasing-  
21 Block pricing on conservation is probably about zero.  
22 And there's an intuitive interpretation in that, of  
23 course, if customers are responding to average prices,  
24 about half of all kilowatts have to be sold at below the  
25 average price, and about half have to be sold at above

1 the average price. And so, as you spread those prices,  
2 if that's what they're responding to, then net effect is  
3 likely to be about zero, and that's what he finds.

4           You might be able to train customers out of  
5 this with greater education. Koichiro and I are working  
6 on a paper right now to look at Southern California  
7 Edison's bill redesign in 2009 where they put a  
8 thermometer on the bill that fills up as you consume  
9 more, and unfortunately, while I think that's a valiant  
10 attempt to inform consumers, it doesn't seem to have had  
11 much effect. We're finding it might have had some effect  
12 on customers in the Central Valley and certain very hot  
13 areas, but overall the average effect seems to have been  
14 extremely small. I think it's actually very difficult to  
15 get people to focus on this. I probably would have  
16 designed the bill slightly differently, but I haven't  
17 focus grouped my design, so who knows whether it would  
18 have been more effective.

19           Then you have to ask the question, even if that  
20 does yield conversation, is that the conservation you  
21 want? Do you really want people conserving to avoid  
22 \$0.30 power while other people are consuming at \$0.10  
23 power? And the economics of that are pretty  
24 straightforward, there's no reason to think that somebody  
25 doing something to avoid \$0.30 power is what you want

1 when other people are, even if they were rationally  
2 responding to marginal price, are responding to a ten-  
3 cent price.

4           So if you really did want greater conservation,  
5 there's a pretty strong argument that what you would want  
6 is to raise the marginal price for everyone, not to have  
7 a wide spread of marginal prices.

8           Now, the second concern about our argument for  
9 Increasing-Block pricing was that it was there to help  
10 poor people. I've done some work on this, and actually  
11 show that it does, that poor people on average do consume  
12 less than wealthy people. Although the protection is  
13 actually smaller than one might think, the average effect  
14 I found on people in the lowest quintile of household  
15 income comes out to about \$5.00 a month. It would  
16 actually be about twice that if there were no CARE  
17 program, but because the CARE program is protecting a lot  
18 of customers already, the incremental effect of also  
19 having Increasing-Block pricing is reduced. One could  
20 also argue that if what you want to do is target low-  
21 income customers, the CARE program is potentially more  
22 effective, but as you dig into the CARE program, you  
23 realize there are some pretty serious monitoring problems  
24 and usage problems there, as well.

25           But the bottom line that one has to recognize

1 is that, if what you're asking is, you know, is this a  
2 historic way to help poor people, it's really not. There  
3 are a lot of poor people that are on high tiers and a lot  
4 of wealthy people that are on low tiers, and so it's not  
5 terribly well targeted, but on average it does help poor  
6 people, the average poor household.

7 Another rate design that is often raised in  
8 conjunction with discussing renewables is Time-Varying  
9 pricing, and it's come up in the last session, the idea  
10 that by varying prices, we might be able to shape load to  
11 fit supply, turning on its head essentially the way the  
12 system has been run for years. I did some work back in  
13 2005 trying to do some straightforward simulations  
14 asking, in a pure fossil system, how much are you likely  
15 to save, and what I found is, for using some pretty small  
16 demand elasticity, assuming people aren't going to be  
17 terribly responsive, that you could save potentially  
18 three to five percent of the energy component of the  
19 bill. That seems like a small number, but actually  
20 that's hundreds of millions of dollars in California, and  
21 I think that's a short run demand elasticity that  
22 actually assumes fairly little response. The reason that  
23 it's so small is that basically peaker -- the capital  
24 cost of peaker plants is pretty low, and so if you really  
25 are willing to spend the money to have a bunch of peaker

1 plants lying around, though it does raise cost, it  
2 doesn't raise them as much as you might think.

3           The potential savings in the long run, I think,  
4 are larger, and there are a number of reasons for this.  
5 One is that there is going to be supply variability due  
6 to the intermittent resources, so this load following  
7 supply is going to take on increasing value. Automated  
8 demand response is going to increase elasticity, which is  
9 going to make this more effective.

10           Cost-effective electricity storage would  
11 actually have the opposite effect, in fact, in the  
12 extreme, if we had very cost-effective electricity  
13 storage, there's not much value to time-bearing pricing  
14 at all because you can always store the power. And as we  
15 increase integration of electric vehicles, that's going  
16 to change the value. But absent major leaps in energy  
17 storage technology, the value of Time-Varying pricing is  
18 very likely to increase over time.

19           There is a concern with Time-Varying pricing  
20 that, again, this is going to hurt poor people. I  
21 recently released a study that used both PG&E and  
22 Southern California Edison load research data actually  
23 estimate who the winners and losers are, and one of the  
24 ways I broke this out was between poor and rich  
25 households, and what I found was that poor households on

1 average aren't any different than other households in  
2 their Time-Varying pattern of consumption. That's  
3 actually true overall in both of the territories. It's a  
4 little -- it's not quite true when you break it out by  
5 region, it turns out that, within each region, poor  
6 households have slightly flatter load profiles, but more  
7 poor households live in the hot regions, those about  
8 balance out, but within each region you do see that poor  
9 households might get on average about a one percent  
10 savings moving to Time-Varying pricing. But it's not  
11 going to have much effect.

12           There would be an impact on large households or  
13 large consumption households vs. small, with large  
14 consumption households seeing their bill go up a bit, and  
15 small consumption households seeing their bills go down  
16 five or six percent. And Critical Peak Pricing would  
17 also obviously help households in cooler areas relative  
18 to households in hotter areas, the inland areas that  
19 would actually be fairly easy to offset, as we do right  
20 now with baselines, we could also offset it by simply  
21 having slightly different pricing in different regions.

22           Let me finish up by talking about something  
23 more directly on point to today's discussion, and that is  
24 Net Metering and Increasing-Block pricing effect on  
25 distributed generation.

1           Before I do this, I want to raise an issue that  
2 we're talking about subsidies to distributed generation,  
3 and it often comes up, and it did earlier today, that  
4 there are also subsidies for fossil fuels, and in a  
5 recent paper I've written, I've also addressed this; it  
6 is true, there are billions of dollars of subsidies to  
7 fossil fuels. It is not true that that actually affects  
8 the relative cost of fossil fuels vs. renewables much at  
9 all. The numbers are in the billions, but the kilowatt  
10 hours are in the trillions, and when you actually divided  
11 it out, it amounts to less than one-tenth of one cent per  
12 kilowatt hour subsidy to -- even if you throw all the gas  
13 and coal subsidies into electricity generation. So when  
14 you're talking about the relative cost of renewables and  
15 fossil fuels, the subsidies to fossil fuels really aren't  
16 a significant component, they aren't going to close any  
17 significant piece of the cost difference.

18           So the basic problem when we talk about the Net  
19 Metering is that the way these rates have been set, as I  
20 talked about, is that we're recovering fixed costs  
21 through volumetric charges and, in fact, we're doing it  
22 in an exacerbated way by recovering fixed cost through  
23 Increasing-Block pricing. So, in some cases, we have  
24 volumetric charges that are way way out of line with the  
25 actual marginal cost of production and procurement and,

1 even if you add on something like \$100 a ton, or \$200 a  
2 ton for greenhouse gasses, which are numbers well beyond  
3 what any policy is considering, the marginal price of  
4 \$0.30 a kilowatt hour really can't be justified.

5           So once you start mispricing power in that way,  
6 it takes on -- it really exacerbates the issue of Net  
7 Metering, and I think the problem we've run into is the  
8 discussion of Net Metering is one that's actually -- the  
9 underlying problem is mispricing, the incorrect marginal  
10 pricing of electricity. And to address that, think about  
11 what the Net Metering debate would be like if we actually  
12 thought, forget about -- well, let's include the  
13 environmental externalities -- but let's say that we had  
14 a flat tariff of \$0.16 a kilowatt hour, I think the Net  
15 Metering debate would just be a much smaller debate  
16 because the implicit subsidy from selling power -- from  
17 avoiding retail charges by selling power -- would be much  
18 smaller.

19           What Net Metering does, as in contrast to  
20 simply reducing consumption, this high price, prices well  
21 above marginal cost, subsidize any reduction in  
22 consumption, including just turning off a light bulb  
23 because you're avoiding a charge that's much higher than  
24 the true cost you're imposing on the system. But Net  
25 Metering expands that subsidy by saying, if you



1 contribute power now, you can actually use it to offset  
2 consumption at another time. And so we're taking a  
3 subsidy that already exists, an implicit subsidy through  
4 Increasing-Block pricing, and we're saying we're going to  
5 actually let you use it, apply it to some other time, and  
6 so it has further expanded this subsidy that  
7 fundamentally comes from Increasing-Block pricing and  
8 from pricing retail price that is set well above marginal  
9 cost.

10 I think that the fundamental problem isn't Net  
11 Metering, it's that marginal prices greatly exceed  
12 marginal cost, even including the social marginal costs  
13 that are imposed. I'm actually involved in some research  
14 right now at the Energy Institute to quantify these  
15 subsidies, including the subsidy from Increasing-Block  
16 pricing for solar PV, asking both how large are these  
17 subsidies, and also how are they distributed among  
18 customers of high income and low-income households. And  
19 I think I'll stop there. Thank you very much.

20 COMMISSIONER PETERMAN: Great, Severin. Thank  
21 you. I don't have any direct questions, myself, but I  
22 appreciate your presentation for providing some context  
23 into how our rate design currently is, as we move forward  
24 to talk about, then, how renewables will impact rates.  
25 And I think you've also touched well upon one of the

1 areas when we think about -- because ultimately we're  
2 concerned with affordability, so how do we help with  
3 things be affordable, partly it's just reducing overall  
4 bills, and partly you can do that by reducing the actual  
5 costs of renewables, but there's also energy efficiency  
6 and other mechanisms that can be used to reduce overall  
7 consumption. And I think you've also highlighted some of  
8 kind of the nuances of Block pricing that might be  
9 exasperated by renewables, if you will. I did want to  
10 see if anyone had any questions for Dr. Borenstein, and  
11 he'll also sit on the panel, but it's a good opportunity  
12 now to ask. First, anyone from the panel with any  
13 questions? Anyone in the audience? Please.

14 MR. TRACY: Jim Tracy with SMUD. No questions,  
15 but I think that we at SMUD, we tend to agree with a lot  
16 of the comments that Severin just presented.

17 MR. SINGH: We do, too.

18 COMMISSIONER PETERMAN: We've heard a couple of  
19 "we do, too's" here. Do you want to particularly  
20 highlight something in the presentation that you want us  
21 to focus on?

22 MR. SINGH: When I give my presentation, I can  
23 touch on it.

24 MR. BRILL: I'll do the same.

25 COMMISSIONER PETERMAN: Okay. That sounds

1 good. Well, moving along, I'll turn it over to the  
2 Moderator, Karen -- or unless we have any questions on  
3 the WebEx?

4 MS. GRIFFIN: Thank you, Commissioner. I'm  
5 Karen Griffin from the Electricity Supply Analysis  
6 Division. Thank you, invited guests, for being here  
7 today.

8 At the last minute literally yesterday we  
9 invited the utilities to give us a little bit of a  
10 background about their retail rates so that we could move  
11 through the discussion. The first thing is you may not  
12 read numbers off of your slides, but thank you for  
13 providing those numbers as background. And I'm going to  
14 ask you to do this in an order, I'm going to go PG&E,  
15 SMUD, San Diego, and Edison to round us up, and then  
16 we'll come back to the questions that were on your  
17 printed agenda. Okay?

18 MR. SINGH: Okay, good afternoon, everyone. My  
19 name is Amrit Singh from PG&E. So I will go through  
20 briefly about our rate outlook and I'll touch on some of  
21 the points that Severin touched on and we'll actually  
22 show how some of these subsidies play out in our rates.  
23 So with that, how do I -- thank you. So here what I have  
24 is what we're showing from our last IEPR Report, the 2011  
25 data that we submitted, how our rates are projecting out,

1 and you can see the red line there, if you can see it, it  
2 shows the inflation. And you can see for the near term,  
3 our rates are pretty much keeping up with inflation, but  
4 as we look out beyond 2015 or so, the rates tend to go  
5 higher than inflation. And what I'm talking about here  
6 is a system average rate for our bundled customers. If I  
7 were to show you similar slides going back to even as far  
8 as 1990, you would see that our rates have generally done  
9 very well, relative to the inflation. And what I've  
10 tried to do here on the green box that you see at the  
11 very top, is quantify using some approximations what the  
12 RPS, or the green power premium would be, and this is not  
13 the full cost of RPS, but this is, for example, if I were  
14 to compare RPS to MPR prices, which assumes a levelized  
15 cost for a new CC coming on line, how much are we paying  
16 more for RPS relative to that. There are other  
17 benchmarks I could have used, for example, forward  
18 prices, or where power prices are traded right now, and  
19 that green box would actually increase. So you can see  
20 that, in our rates, the RPS is starting to add to the  
21 cost pressure, and the reason is that we've signed a lot  
22 of contracts, but these will start showing up in our  
23 rates as they start delivering power. And in the past,  
24 we've benefitted for some of our lower priced renewable  
25 QFs.

1           So while this doesn't look like much of an  
2   issue from a system average perspective, even though it  
3   is adding close to two cents -- RPS is adding close to  
4   two cents in 2020, or close to two to three cents,  
5   depending on which benchmark you judge it again.

6           But if I go to the next slide and show you  
7   what's happening to residential customers, where we have  
8   a huge rate design issue, so this is our residential rate  
9   outlook, as well as I'm showing you a little bit of a  
10   history starting from the energy crisis. One note I want  
11   to make is -- and I think Severin touched on it in his  
12   presentation -- or maybe Carl mentioned it -- that  
13   customers, the bill that they get, what they pay is not  
14   just the cost, but it's also an impact of rate design.

15           So rate design, when we're looking at  
16   residential and a certain segment of residential  
17   customers, it's actually rate design that's having as  
18   much of a big impact on their bills as opposed to cost,  
19   and that's what I'm going to show here.

20           So prior to the energy crisis, you know, in  
21   California we used to have for residential customers are  
22   two-tier rate in planning block rates, same as Severin  
23   mentioned, you know, and the idea was that it encourages  
24   conservation -- I have to wrap up already?

25           COMMISSIONER PETERMAN: I would say. We have

1 -- we've got a little bit extra time from Severin's  
2 presentation, so please continue, but thank you for  
3 watching the time. I will override the time, but  
4 appreciate it.

5 MR. SINGH: So anyways, the energy crisis, five  
6 tiers were introduced, and this was to protect the low  
7 users and supposedly low-income customers. And for PG&E  
8 in CARE, we only had two tiers, so all our CARE rates  
9 were frozen, and any increase for nearly a decade all had  
10 to go to our tiers 3 through 5, and the impact of that  
11 was it led to a \$0.50 rate when a cost of service is  
12 somewhere around \$0.16. That black dotted line is our  
13 average cost of serving residential customers, and you  
14 can see how rates -- how far rates are removed from cost  
15 of service.

16 And the other thing I will add is, today, that  
17 upper tier where we're collecting most of the cost  
18 increases is only 23 percent of our sales, so another way  
19 of saying that is, 77 percent of sales that we're serving  
20 today is below cost of service.

21 And as Severin said, you know, people when they  
22 talk about IBR, they think about conservation. When 77  
23 percent of your sales are below cost of service, it's  
24 hard to say that these rates are incentivizing  
25 conservation.

1           Similar to Severin, we did a study, we hired  
2   the Brattle Group and they did a similar study for us  
3   that showed that, in fact, going to a flat structure,  
4   marginally you would actually increase conservation  
5   because we have so much of our sales that is not subject  
6   to any price signals for conserving. So anyways, looking  
7   out, you can see the rates are going to skyrocket and  
8   this is not by any means a high cost scenario, this again  
9   is based on the IEPR data and this doesn't include some  
10  of the new policy goals that the Governor has talked  
11  about such as the 12,000 megawatts of DG, all of that  
12  will have, again, impacts on these upper tier rates.  
13  This doesn't take into account any disruptions you may  
14  get in the commodity markets, which are always very  
15  volatile, or hydro conditions, you know, we have a  
16  substantial amount of sales that we serve from our own  
17  hydro, and those can all spike, and if you remember what  
18  happened with gas prices in 2008, if we had any scenarios  
19  like that in the future, that would obviously exacerbate  
20  this problem. So as the slide says, this is not  
21  sustainable, this outlook. And when we talk about all  
22  these policies that we want to pursue, including RPS, if  
23  we don't address the rate design issue, you know, those  
24  policies are not really sustainable when we have to --  
25  only 23 percent of sales to spread the costs on. And the

1   unfortunate thing is that there's not much that PUC can  
2   do. As you can see, our rates came from close to \$0.50  
3   down to \$0.34, approximately \$0.34 right now, and that's  
4   from the limited actions the PUC could take such as  
5   lowering the baseline from 60 percent to 55 percent,  
6   which pushed more sales up, collapsing tiers 5 and 4 into  
7   new tier 4, and closing the gap between tiers 3 and 4.  
8   Going forward, they may lower it to 50 percent which is  
9   the limit, but there's not that much opportunity unless  
10   there's changes in the Legislature, or re-looking at  
11   changing SB 695, which was introduced in 2009, but it's  
12   not actually working as it was intended.

13           The next slide is basically, I'll go through  
14   very quickly and I'm out of time. Here is our CARE  
15   rates, you can see the CARE rates on average that we have  
16   today are lower than what we had in 1991, and that's  
17   nominal rates I'm talking about. If you were to look at  
18   the black line, if the rates had just grown with  
19   inflation, that's where the rates would have been, and if  
20   you look at the households, you know, it used to be seven  
21   percent of households, it's close to 30 percent of our  
22   sales, or 28 percent of households, that's in CARE,  
23   that's about a \$700 million subsidy.

24           And the next couple of slides, you know,  
25   talking about customer charges, Severin talked about it,



1 we have a lot of fixed charges, you know, our service is  
2 not efficient to recover everything through a volumetric  
3 charge. We are one of the few unique utilities along  
4 with San Diego who doesn't have a customer charge.  
5 There's a bill in the Legislature right now that will  
6 give the PUC -- it doesn't mandate the PUC, but it gives  
7 the PUC the ability to introduce one, and I think that  
8 would be good, you can see most of the California  
9 utilities have one -- Edison has a very small one because  
10 they had it before the rate freeze.

11 And the next slide, I show the average customer  
12 charges across the country. What's that?

13 COMMISSIONER PETERMAN: That's the average  
14 fixed charge?

15 MR. SINGH: This is the fixed charge, or  
16 customer charge, yeah.

17 COMMISSIONER PETERMAN: Great, thank you.

18 MR. TRACY: All right, I guess I'm next. I'll  
19 send a bill to PG&E for the time that he took out of my  
20 presentation.

21 (Laughter)

22 So my name is Jim Tracy.

23 COMMISSIONER PETERMAN: I'll take it out of my  
24 questions, so it's okay.

25 MR. TRACY: I'm the Chief Financial Officer

1 with SMUD, and I'm the token economist on the Senior  
2 Staff and so when the CEO took over a few years ago, we  
3 restructured and the rates department came under me, so  
4 that combination with a public board where we have a very  
5 close relationship, the Board got to listen to a lot of  
6 interesting rate proposals that I was throwing out there  
7 along with my staff.

8 I would like to say that the issues of low-  
9 income, the Increasing-Block rates, the complexity of  
10 rates, these are all things that I will address at the  
11 appropriate time in the presentation. This just gives --  
12 and, really, SMUD has embarked on some significant  
13 changes in its overall rate structures to try to achieve  
14 certain goals. This is just a depiction of kind of where  
15 our rate classes are, what types of customers we have,  
16 about half of our sales are residential, so it's a  
17 significant group for us. If you go to the next slide.

18 Basically, we've got a two-block rate right  
19 now, and I'll talk later about how that's expected to  
20 change. The low-income, again, I will talk later about  
21 some of the adjustments that we've made to the low-income  
22 subsidy that, in our estimation, it's a better approach  
23 to low-income subsidies.

24 COMMISSIONER PETERMAN: Jim, I'm going to ask  
25 before you wrap up that you talk about them now, just to

1 make sure we get it out there because I did want everyone  
2 to hear about the particular situation SMUD has gone  
3 through because I think it would be a good model for  
4 others to look at, at least consider, you've done a lot  
5 of work in the area.

6 MR. TRACY: Well, it's kind of wrapped up with  
7 the overall rate structure design for residential.

8 COMMISSIONER PETERMAN: Okay.

9 MR. TRACY: We are trying to reduce the  
10 difference between the two blocks, maybe at some point  
11 eliminate the different -- just have a flat energy rate,  
12 but we're moving those costs into an infrastructure  
13 charge, which right now we're at \$10.00, but we're headed  
14 towards more like \$20.00 in five years. And one of the  
15 concerns that the Board members had was, well, how is  
16 that going to impact the low-income customers? And as we  
17 had the discussion, one of the things was that the solar  
18 folks that were getting the subsidies off of the large  
19 block, when they did their solar, then those fixed costs  
20 got thrown back to the customers, and, you know,  
21 effectively there weren't any low-income customers to  
22 speak of that are doing solar. So, really, we had a  
23 situation where the Net Metering was disproportionately  
24 being thrown -- the costs were being thrown back to the  
25 low-income customers. There were concerns about the fact

1 that, if we were raising our infrastructure charge, which  
2 is a fixed fee per month, significantly, how would that  
3 affect low-income customers who tend to use a little bit  
4 less energy? So the approach we took was, well, we're  
5 going to get more of our discount in the fixed charge.  
6 So if we're going to give a discount to low-income  
7 customers, just give it to them and lower the fixed fee  
8 upfront. What we would like to see is more of a price  
9 signal to the low-income customers that, you know, saving  
10 energy is going to lower your bill. So, with moving  
11 costs into the -- out of the energy and into the fixed  
12 charge, and giving them a big discount upfront, we took  
13 some of the discount that we otherwise would have been  
14 giving to the low-income customer and said what we're  
15 going to do is cut off the amount of energy on which they  
16 get a discount, so there's actually this third block  
17 where they get no subsidy. But that's where we're  
18 focusing our energy efficiency dollars. We specifically  
19 identify the three to five percent of our low-income  
20 accounts, and typically those accounts, they live in  
21 substandard housing, there's a lot of opportunities to  
22 save energy fairly cheaply, and we're focusing the  
23 subsidy dollars into energy efficiency measures that we  
24 basically just give to the low-income customers. We go  
25 in and change out a refrigerator, we do insulation, we do

1 all their lighting, things that have very quick payback,  
2 so that we push them back in terms of their total bill  
3 goes down, but once we've done the energy efficiency,  
4 then we're not going to be giving them the discount year  
5 after year after year. And so that was kind of the  
6 approach is that, as we move forward, we're going to try  
7 to compress the low-income energy discount to something  
8 more of a lifeline amount of energy and focus energy  
9 efficiency dollars instead of on a discount into actual  
10 measures that will reduce their energy for the very  
11 highest users in that group. So that -- and, you know,  
12 we had a very long discussion with our board, and that's  
13 where we ended up and they're pretty happy with the  
14 results. And actually the low-income customers, it's  
15 been a very very good program because the very highest  
16 users, you have a big big portion of their income being  
17 taken up by electricity, those are the ones who are going  
18 into it and saying, "We're going to give you a free  
19 refrigerator, we're going to do this, and we're going to  
20 do that," and they're just floored, literally.

21           And then I think the last slide is just to talk  
22 about that we have on our commercial structures -- we are  
23 going from, with all of the AMI meters that we're putting  
24 in, we're basically putting all the commercial customers  
25 on Time of Use (TOU) so that they'll all be on that. And

1 even on the residential side, we're toying around with  
2 electric vehicle rates where you might bring in a  
3 capacity charge for people who are doing electric car  
4 charge because, quite frankly, one of the problems that  
5 we see is that, if someone insists on having a 20 or 30  
6 KW load or charger, you get two of them coming on at  
7 once, then you've blown the transformer in the  
8 neighborhood, literally, the distribution isn't set up  
9 for that. So the idea is kind of foreign to utilities to  
10 have a demand charge, or a facilities charge for  
11 residential customers, but we may go there as one of our  
12 options that we're studying for electric vehicles.

13 COMMISSIONER PETERMAN: Thank you. For those  
14 who may just be joining us listening to this panel, we're  
15 having each utility just provide a bit of information  
16 about their current rate structure and some of their  
17 considerations with renewables, but we also have a wider  
18 panel that will be raising issues and responding to what  
19 they've heard, and responding to questions from our  
20 moderator.

21 MR. BRILL: Good morning. Severin spent a lot  
22 of time talking about accurate price signals and the  
23 difference between the costs that utilities incur and how  
24 we incur those costs, and the prices that we charge  
25 customers. Before I get into the rate slides, and I know

1 I've only got three minutes, so I'll do it quickly, I  
2 wanted to go through the categories of costs that are  
3 actually reflected in our rates. It's really important  
4 to understand if you want to think about how you create  
5 an accurate price signal.

6 We've got customer costs, that's the cost to  
7 the meter, the billing system, the billing center, the  
8 call center. These are costs that we incur when a  
9 customer is hooked up and we send a bill to them, whether  
10 they use any electricity or not. We have distribution  
11 demand costs, these are the costs associated with our  
12 distribution system, they're fixed costs for the most  
13 part.

14 We build our distribution system to serve the  
15 maximum or the non-coincident demand of all the customers  
16 served off of the circuit. That's really important to  
17 understand because that's a different cost causation  
18 principle than system costs, or transmission costs. We  
19 build system capacity, or transmission capacity, to meet  
20 the peak demand of the system. So you've got  
21 distribution demand costs, we're building that to meet  
22 the non-coincident demand of customers served off of the  
23 circuit, and you've got system capacity; we incur those  
24 to serve peak system demand; and then you've got  
25 commodity costs and those vary on a Time of Use basis.

1           Residential rates are important because, when  
2 you think about the majority of our customers, they're on  
3 an all volumetric rate, it's not Time of Use driven, they  
4 don't pay fixed costs for any of those cost components  
5 that I just went through. Next slide.

6           This is the tiered rate structure that we have  
7 right now for our residential customer class, and I want  
8 to point something out. When you look at the top tier  
9 rate, that's \$0.28 right now, a few months ago, that was  
10 \$0.30. The way Net Energy Metering subsidies work,  
11 Severin mentioned Net Energy Metering; we avoid a cost of  
12 \$0.8106 when a customer puts solar panels on their roof,  
13 or wind on their roof, or a fuel cell in their back,  
14 that's our time of day adjusted commodity cost. We do  
15 not avoid the remainder of those costs. We're now  
16 shifting about \$0.20 of costs to other ratepayers.  
17 That's the Net Energy Metering cost shift and Net Energy  
18 Metering subsidy issue that a lot of folks have been  
19 talking about, but when you think about it, what we've  
20 really done with rooftop solar, and this is a key change  
21 to the industry structure, is we've unbundled commodity  
22 services from reliability services. That \$0.28 rate,  
23 that's the rate for both commodity services and  
24 reliability services. That cost is avoided by a customer  
25 that sells supplies only commodity services.



1           Our small commercial rates are similar in one  
2 sense to residential rates, they're all volumetric. Most  
3 of these customers are not on Time of Use rates. The  
4 difference is that they are not tiered and -- if you  
5 could go to the final slide -- which is Medium and Large  
6 C&I, here we have a demand charge structure, we actually  
7 have a demand charge for non-coincident demand, that's to  
8 recover those distribution demand costs, and we also have  
9 a demand charge based on system peak demand, what's the  
10 customer's demand at peak, and that is to recover the  
11 system capacity costs. The majority of large -- medium  
12 and large C&I customers are on Time of Use rates, so they  
13 have the most accurate price signals of any of our  
14 customers.

15           MS. GRIFFIN: And I believe our Edison speaker  
16 is online?

17           MR. GARWACKI: Right. This is Russ Garwacki.  
18 I apologize for getting here so late. A lot of what  
19 you're going to hear, and I know I just got on mid-way  
20 through SMUD's presentation, so a lot of these are going  
21 to be very similar since California, San Diego, PG&E and  
22 ourselves, are all regulated by the same Commission, all  
23 of our rate structures and issues are going to be the  
24 same with some slight variations in degree, I suppose.

25           But moving on to just some of the rate design

1 observations, you heard this probably four times by now,  
2 presented quite well by San Diego in terms of functional  
3 allocation, in terms of cost to serve, whether it's  
4 distribution, energy, or customer basis, as well,  
5 essentially with the advent of AMI, we're allowed to do a  
6 bit more Time of Use and demand metering for a variety of  
7 customers, and I'll talk a little bit about that in a  
8 couple slides. But we have a whole lot of regulatory  
9 restrictions primarily surrounding affordability and  
10 promotions of various technologies, and we'll talk about  
11 those with a little bit more detail now, why don't we  
12 move to page 2?

13           When we start looking at the tiered rates, as  
14 folks have represented, this looks a little bit of real  
15 world in terms of what our residential customers look  
16 like, in terms of CARE and non-CARE, and high vs. low  
17 usage customers, and you can see the degree by which the  
18 average rates and the average bills vary in the same  
19 residential space. On the far right-hand side, you can  
20 see what the various policy overlays have done, both in  
21 terms of affordability in the CARE/non-CARE space, and  
22 also in terms of an overlay of affordability and  
23 conservation incentive in the usage dimension, and you  
24 can see how the lowest usage CARE customers are paying  
25 under \$0.10 per kilowatt hour with the high usage, non-

1 CARE customers paying \$0.21 per kilowatt hour, and this  
2 is as of 12 months ending April or so. But you can see  
3 how the usage is distributed; that's not going to be any  
4 surprise to anybody. That will be probably very similar  
5 in concept to what PG&E and San Diego have probably  
6 already presented.

7           What you see is how it works to solar, and I  
8 focused these particular slides just to represent how the  
9 distributed generation impacts for NEM, in this  
10 particular case, what we did is we did an analysis of  
11 about 1,700 accounts that installed solar, both pre and  
12 post, their solar installations, and quantified exactly  
13 what the level of sizing is, and what the tiered retail  
14 rates that are actually offset, and what you can see is,  
15 on the top right, you can see our tiered rate levels for  
16 non-CARE, for the five tiers that we have in place, and  
17 that is weighted if you go immediately left of where the  
18 cursor is, the displaced energy, on average for these  
19 1,700 customers, they're on average producing about 600  
20 kilowatt hours per month, and offsetting the tiered  
21 distribution that you see there.

22           If you look at a weighted average of the  
23 displaced energy, you get to the far right-hand column of  
24 the \$0.24, or the note that I have in red, that says that  
25 the average retail benefits for these folks is \$0.24 per

1 kilowatt hour, and what Tom had mentioned, in terms of  
2 the unbundling of gen vs. distribution, etc., with a gen  
3 avoided cost including capacity of about \$0.8 per  
4 kilowatt hour, there's a significant subsidy going on  
5 there. When we start looking just at the average  
6 residential retail rate of \$0.16 per kilowatt hour, the  
7 actual avoided retail rate, just because of the size  
8 consideration of these customers, is quite significant.  
9 The actual avoided gen cost component is about half of  
10 that \$0.16.

11           When you move to the next slide, just some  
12 quantifications that we've run, when you start looking at  
13 the NEM subsidy, we're at about \$50 million a year, a  
14 little over one percent of system peak, and that's  
15 currently defined as the system peak, the aggregated  
16 system peak, not necessarily the PD that President Peevey  
17 has issued, but that is the way we have proposed as zero,  
18 what we have indicated as the aggregated customer peak  
19 demand. And so, when you look at that times five, which  
20 is the current cap, that's about \$250 million a year  
21 under President Peavey's redefinition of what that cap  
22 is, that essentially doubles that to about \$500 million a  
23 year, so that puts some quantification around that.

24           If you move to the next slide, you see  
25 essentially what, you know, I didn't necessarily go into

1 all the levels of details, but all the rate structures  
2 between ourselves and PG&E and San Diego are the same,  
3 residential tiered rate structure on a declining block  
4 basis, with uppermost tiers being about two and a half  
5 times the baseline rate, small C&I right now, energy only  
6 rate for the less than 20 KW customers. Right now we  
7 have a proposal before the Commission that we're  
8 litigating that talks about a Mandatory Time of Use.  
9 We're currently under an order from our 2009 GRC Phase II  
10 that says that you are going to have mandatory POU with  
11 default Critical Peak Pricing, we've opted to -- or we  
12 have asked to change that to Mandatory Time of Use with  
13 opt-in Critical Peak Pricing, a subtle difference, but  
14 that's how we're proposed it, the same with our Medium  
15 C&I, 20-200 KW, which is a Demand Metered rate currently.  
16 Our Large C&I, our greater than 200 KWs, we defaulted  
17 them to Critical Peak Pricing.

18 Back in our 2009 case in October of 2009, they  
19 migrated to Critical Peak Pricing and, just for purposes  
20 of comparability, we've got a little bit less than 40  
21 percent of that customer base remaining on Critical Peak  
22 Pricing, for those who want to know that stat. And then  
23 the Ag customers, we're going to be looking at migrating  
24 them, as well, splitting them above and below 200 KW, as  
25 you see, as well, and offering some Opt-In Real Time

1 Pricing -- Quasi-Real Time Pricing, I'll say, it's not  
2 necessarily directly tied to the market because there's  
3 really, frankly, no significant differentials in the  
4 real-time market to justify any type of a load shift. So  
5 it's a manufactured rate similar to what Critical Peak  
6 Pricing is, which is we have certain triggers and we  
7 collapse capacity into some certain energy adders to  
8 instill some measure of demand response in that regard.

9           So those are the slides that I have, pretty  
10 consistent with my neighbors to the north and south.

11           MS. GRIFFIN: Thank you. As you remember, the  
12 whole purpose of what we're doing here today is to  
13 develop information and ideas for making strategic  
14 recommendations on how the state can move forward with  
15 its renewables programs in a cost-effective, reliable,  
16 safe, environmentally preferred manner. So this whole  
17 panel has two giant areas to talk about, one of them is  
18 system average rate impacts, what aspect of renewables is  
19 a portion of that, and a second one is the rate design  
20 issue. So I'd like to move back to the bigger one first,  
21 which is the system average rate in terms of moving  
22 forward. What proportion of the total kinds of mandates,  
23 things you need to do, including renewables, what portion  
24 of that is renewables? For example, I looked at a  
25 presentation L.A. gave to its Board, and they said that,

1 of the costs they would like to incur to meet what they  
2 regarded as their mandates, 25 percent was RPS, and for  
3 them 3 percent was additional customer-side solar. Are  
4 those proportions -- and for them, I think about 30  
5 percent was replacing their OTC fleet, so that was a big  
6 portion of theirs -- are those proportions -- what are  
7 the utilities seeing in terms of the total amount of rate  
8 increases you think you would like to have, if you didn't  
9 have some kind of overall, "My God, we can't do that"  
10 cap, would renewables be?

11 MR. BRILL: I'll take a crack at it. Someone  
12 has to do this. Sure, what we're looking at from the RPS  
13 is a total of about a two-cent system average rate  
14 increase, about one penny of an increase from where we  
15 are today. What's important when you look at those  
16 tiered rates, for us about one-third of through-put is  
17 the upper tier, so a two-cent average rate impact is six  
18 cents for those customers. Now, in the case of the RPS,  
19 we're actually buying something, and we're procuring  
20 renewable energy and we're adding that to our portfolio;  
21 it is equally important to consider the rate impact of  
22 Net Energy Metering.

23 Under today's rates, and by the way, the rate  
24 impact is very volatile, as is the magnitude of the  
25 subsidy, because the subsidy simply depends upon the

1 level of the upper tier rate. If that rate goes up, the  
2 subsidy increases, if it goes down, the subsidy  
3 decreases. Our Net Energy Metering subsidy decreased by  
4 two cents when our upper tier rate went from \$0.30 to  
5 \$0.28. Later this year, when we have other rate  
6 adjustments, that subsidy is going to increase  
7 significantly. And so, there's no market reason for  
8 having that subsidy go up and down, month by month, and  
9 if you're to trace it historically, you would see that  
10 it's done that since it was created, those changes have  
11 no relationship to market conditions, no relationship to  
12 the need for a subsidy, no relationship to the cost of  
13 solar, and no relationship to anything whatsoever except  
14 for upper tier rate. But when you consider that, and  
15 that you're shifting the difference between that upper  
16 tier rate and the cost that we avoid, which is about  
17 eight cents, there's a significant cost shift. At  
18 today's rates, we're currently shifting about \$16 million  
19 to \$17 million to remaining upper tier customers with  
20 today's Net Energy Metering penetration levels. With  
21 higher rates -- and I can assure you, we will have higher  
22 rates as we move forward -- that number is going to  
23 increase materially. At a five percent cap, the cost  
24 shift under today's rates would be about \$29 million, and  
25 the annual bill impact to an upper tier customer would be



1     about \$65 million.

2                   MS. GRIFFIN:   Okay, I want to stick on the  
3     topic of total system rates right at the moment because,  
4     if you look at the portion of Net Metering, in terms of  
5     the total renewable energy, today, compared to the  
6     proportion of energy we're trying to get from the rest of  
7     the renewables, the rest of the renewables swamp it.  
8     Now, we all know, and we're going to get to, the fact  
9     that the state is interested in increasing customer-side  
10    energy -- I mean renewables -- and how are we going to  
11    integrate that.   But let's stay on the big prices right  
12    at the moment.

13                  MR. BRILL:    Yeah, but just one final point,  
14    because our customers care about bills?

15                  MS. GRIFFIN:   Uh-huh.

16                  MR. BRILL:    And so it's really important for  
17    regulators to understand that it's not just costs, rate  
18    design has a giant impact on bills.   And so we can't only  
19    look at the cost side and, in the case of the cost shifts  
20    I'm describing, you have the least affluent of our  
21    customers subsidizing the most affluent, so those cost  
22    shifts are actually creating a real socioeconomic  
23    inequity.   So it's not something that I would recommend  
24    we ignore.

25                  COMMISSIONER PETERMAN:   Thank you for pointing

1     that out. Just so you know, I had a very good economics  
2     education, so I appreciate that.

3             MR. SINGH: It's sort of similar, I showed it  
4     on our overall system cost, if you look out in 2020, I  
5     think on a system average basis, it's somewhere around  
6     two cents, and that's subtracting out the energy value of  
7     RPS, just looking at the RPS premium, it's between two  
8     and two and a half cents, depending on how you value the  
9     premium. Again, tying it back to impact on customers in  
10    terms of residential customers for upper tier, rather  
11    than two cents, it's more like something between seven to  
12    10 cents on the top marginal rate. So orders of  
13    magnitude higher for those customers because, you know,  
14    as we talked about, we are limited as to what we can pass  
15    through for the lower tier customers.

16            MS. GRIFFIN: Okay, and what percent increase  
17    are you looking at for, say, transmission or distribution  
18    additions?

19            MR. SINGH: You know, the number that I gave  
20    you actually accounts for the transmission that is  
21    associated with RPS, as well as an estimate of  
22    integration costs, so it's embedded in that.

23            MS. GRIFFIN: Imbedded in that, okay. Thank  
24    you. SMUD?

25            MR. TRACY: I think that the overall impact on

1 our rates is probably something on the order of seven or  
2 eight percent by the time we have the projects that are  
3 in the queue for the next two years folded into our  
4 rates. It's by far the biggest component of the need to  
5 ask for higher rates from our customers over the next  
6 three to four years. I think most of our other  
7 components, we're able to hold those pretty steady.

8 I'd like to make a comment about, you know, as  
9 far as SMUD's perspective, I think that from a customer's  
10 perspective, the idea of bills vs. rates, we do want to  
11 focus on bills, but we can't forget the fact that, if you  
12 have a rate structure where, if you have a lot of energy  
13 efficiency happening, and you have a lot of fixed costs  
14 that are being collected through the energy charge, that  
15 those fixed costs didn't land on the rest of the  
16 customers in the system, so it's not just solar, it's the  
17 energy efficiency which we're trying to achieve, like one  
18 and a half percent a year, and that's a pretty  
19 significant amount.

20 And from an economic development standpoint,  
21 looking at our community, a lot of the commercial  
22 businesses that are coming in, you can talk about bills,  
23 but they're looking at rates because they're going to be  
24 -- they're looking at an efficient process already. And  
25 so what they're doing is comparing their process, which

1 they're going to put in in SMUD's territory vs. PG&E's  
2 territory vs., you know, someplace else in the country.  
3 So we have to have a balance between the bills and the  
4 rates, themselves and part of that connection, that we  
5 had a discussion with our Board about, is the fact that  
6 if you can move rate structures over a period of time  
7 such that the energy charge and the fixed costs are being  
8 collected kind of in that manner through the tariff, then  
9 when customers make the decision to do energy  
10 efficiencies, if they make the decision to do distributed  
11 generation, the amount of cost shifting is minimized and,  
12 then, you don't have the utility having the incentive to  
13 discourage it in any way. We're actually a little bit --  
14 if we can get that into that position, you're more  
15 Agnostic toward it, and it's probably a better  
16 environment for energy efficiency and distributed  
17 generation to thrive, even though it's more difficult for  
18 it to be cost-justified, because it's competing against a  
19 lower energy price; what is cost-effective, you know,  
20 should be done at that point. So, that's a big element  
21 of where SMUD is going with sort of some of their changes  
22 in overall rate structures to allow us to really be on  
23 the right side of the equation with the customer and say,  
24 "Yeah, we want more of that as long as it is cost-  
25 effective."

1           MS. GRIFFIN: Another of our panel members is  
2 also online. Stephanie Chen from Greenlining. Do you  
3 want to make --

4           MS. CHEN: Good afternoon.

5           MS. GRIFFIN: Hi. Do you want to make comments  
6 on these issues?

7           MS. CHEN: So I would say a couple of things  
8 come to mind. First, in continuing a series of lively  
9 conversations I've had with Severin about Inclining-Block  
10 vs. Time-Varying Prices, Severin, you mentioned that  
11 customers don't respond to Inclining-Block Pricing  
12 because they don't know how it works; well, the utilities  
13 haven't exactly done a bang-up job of teaching them how  
14 it works, and so I sort of wonder how people would  
15 respond to the Inclining-Block system of rates if they  
16 had not only the kind of monthly sort of temperature  
17 checks that you're looking at in Edison's bill redesign  
18 project, if I had understood your description correctly;  
19 but also sort of the ongoing input that I think is  
20 envisioned in a lot of the Time-Varying Pricing models --  
21 this is where you're at today, this is where you're at  
22 this time of day for this time of year, and so on. So I  
23 think that, if you're talking about getting customers to  
24 respond to price signals, getting customers to be more  
25 efficient. The absolute make or break first step is

1 going to be how effectively you're communicating  
2 information to them and providing those resources so that  
3 they are empowered to respond.

4 Another thing that comes to mind, I'm glad that  
5 folks have raised the issue of Net Metering because I  
6 think that, for the low-income constituencies that the  
7 Greenlining Institute represents, there's a difference in  
8 how we should look at those types of renewable projects  
9 that have socialized costs and socialized benefits, is  
10 kind of the way that I think about it, and those would be  
11 the utility-owned projects. Consumer advocates, I think,  
12 really like the distributed generation for a lot of  
13 reasons, but at the same time, the sort of utility-owned  
14 projects do have the advantage of having all the costs  
15 and all of the benefits kind of spread out over the whole  
16 customer base. And when you look at something like Net  
17 Metering, and to a large extent some of the challenges  
18 around EVs, and I think the gentleman from SMUD mentioned  
19 the transformers, these are programs where the benefits  
20 are largely individual to the person who makes the  
21 investment, but there are socialized costs in terms of  
22 either the subsidy question, when it comes to Net  
23 Metering, or some of the infrastructure upgrades that  
24 would be required to accommodate EVs, particularly at the  
25 scale that we are hoping to incorporate them. So I think

1   that each one of these needs a separate consideration  
2   because I think that sometimes socializing the costs just  
3   may not be appropriate, sometimes it's a question of how  
4   well that CARE discount is working, whether it's truly  
5   providing affordability. But I think that ultimately  
6   what we need to remember is, while we definitely want to  
7   go after renewables and, while there are many statutory  
8   policies in favor of renewables, and I do believe that  
9   that's the way to go for the future, the affordability  
10   consideration is paramount, and all the renewable energy  
11   in the world doesn't necessarily help us all that much as  
12   a society if we are promoting energy efficiency by  
13   getting your power turned off because you can't pay the  
14   bill.

15           MS. GRIFFIN: Well, you bring up the subject of  
16   affordability. Do you have --

17           COMMISSIONER PETERMAN: Karen, before we move  
18   on, if you don't mind, I think Severin wanted to directly  
19   respond to a point that was raised.

20           DR. BORENSTEIN: Yeah, if I can just make a  
21   comment about communicating Increasing-Block Pricing, I  
22   would agree the utilities have not done a bang-up job at  
23   communicating it. I think that the bills prior to  
24   Edison's attempt at redesign work were completely  
25   incomprehensible to 99 percent of people -- some of that

1 blame, of course, is on the PUC, as well, since that is  
2 jointly developed. But Increasing-Block Pricing is  
3 actually extremely difficult to communicate in a way that  
4 people can respond to it because -- I'm going to pick on  
5 PG&E, which now has this notification plan that, as you  
6 go to each increasing block within your billing period,  
7 it sends you a text message, and that is actually  
8 misleading because the real incremental cost of consuming  
9 at any point in time depends on where you expect to be at  
10 the end of the month, it's not that power is cheap for a  
11 little while and then you step up to the next step, we  
12 all know you're going to consume power on all 30 days of  
13 the month, and so to actually inform people, "Well,  
14 what's your incremental cost right now," it depends on  
15 all your assumptions so far in the month and all your  
16 expected consumption for the rest of the month. So I  
17 would argue that it is much more difficult to accurately  
18 communicate that to customers -- I would say pretty much  
19 impossible -- than Time of Use Pricing, or even Real Time  
20 Pricing, which people can understand that the price  
21 varies hour to hour, or between daytime and evening, and  
22 can adjust to, whereas this is, if not random, it  
23 certainly has this huge random component to it that the  
24 utilities really are not going to be able to communicate  
25 well, I think.

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417



1           MS. CHEN: And you know, Severin, I see where  
2 you're coming from with that -- this is Stephanie again  
3 -- but at the same time, my concern, I think, is for  
4 people who have a hard time shifting that usage and  
5 having the sort of room to figure out when they're able  
6 to do certain things, when they're able to do the  
7 laundry, when they're able to run the dishes without  
8 incurring those increased costs. I think you get a  
9 little bit more flexibility in that. I'm thinking of,  
10 you know, workers who have got a couple different jobs  
11 over the course of the day, or workers who are working  
12 odd hours, and the only time they have to do laundry is  
13 during that peak, and so you're kind of just -- you're  
14 sort of stuck if the model is a mandatory one.

15           DR. BORENSTEIN: And I think we have to be  
16 careful about falling into the trap of people having a  
17 property right to whatever the current tariff design is.  
18 You know, the fact is that consuming -- running your  
19 laundry on the hottest day of the year does impose much  
20 higher costs on society than running it at other times,  
21 and I think it's important that, you know, and there are  
22 some people that win from that and some people who lose,  
23 my research has shown that it is not the case that poor  
24 people systematically win from having a flatter rate  
25 structure that doesn't reflect timing. And so I think

1 moving towards a rate structure that does reflect costs  
2 should be sort of our default intent, unless you can show  
3 that it really does have a disproportionate impact on  
4 poor people. And in this case, yes, there are going to  
5 be some people who like to run their laundry, low-income  
6 people who like to run their laundry on hot days, and  
7 there are going to be other low-income people who don't  
8 run their laundry on hot days, anyway, and they're  
9 getting screwed right now by the current system.

10 COMMISSIONER PETERMAN: So I'm going to switch  
11 now to Jim Tracy signaling over here, he wants to make a  
12 comment, and then back to our Moderator.

13 MR. TRACY: I would just make a quick comment.  
14 You know, SMUD has probably tried for the last 30 years  
15 to tell its customers that it's a customer sort of  
16 run/owned utility, and we've managed to get the  
17 recognition up a little over 50 percent, so my point is  
18 you can't underestimate how difficult it is to send  
19 messages to a group of people who aren't that terribly  
20 interested in a utility, it's not that big of a deal for  
21 most people, their bill is small relative to their  
22 income. So it is difficult to get a message out to the  
23 customers that resonate with them.

24 COMMISSIONER PETERMAN: What was that message  
25 you were saying? I missed the first part? What was the

1 message that you got 50 percent uptake on?

2 MR. TRACY: That we're actually a public  
3 utility and we barely have -- you know, maybe around 50  
4 percent of our customers who actually know that, despite  
5 all of the advertising, everything we do. So trying to  
6 talk to them about something a little more complex than  
7 just "you have a public utility," we're convinced that  
8 you have to have very very simple rates, and so from that  
9 perspective, you know, a flat energy charge is probably  
10 better than an Ascending-Block charge, but we think that  
11 a Time of Use Rate, where there is consistency over the  
12 years, I mean, the worst thing you can do to the customer  
13 is, say, have them make decisions on a \$20,000 solar  
14 investment and then dramatically change the rate  
15 structure on them so that, what they thought was a three-  
16 year payback is now going to be a 10-year payback. You  
17 want to talk about angry customers? I would be angry if  
18 that happened to me. So, simplicity in terms of trying  
19 to move to a Time of Use Rate where it's a real simple  
20 message, if you use power in the summer between 4:00 and  
21 7:00, it's more expensive, it's cheaper the rest of the  
22 time. I mean, that is an easier message to get across  
23 and that is the consideration in terms of how effective  
24 your rates are going to be in getting customers to  
25 respond to them and participate, and then consistency

1 over time so that customers feel safe about, based on  
2 this rate structure, can I make decisions which are the  
3 long-term elasticity as opposed to that short term, we're  
4 really focused on getting people to make decisions about  
5 equipment purchases that require investments, as opposed  
6 to behavioral stuff because that's where the big savings,  
7 we think, are going to be in the long-run.

8 MR. SINGH: Just real quickly, if I may? So I  
9 just want to say that PG&E has done a lot of focus group  
10 studies with customers and we find that most of our  
11 customers, it's very hard for them to understand our rate  
12 structure -- the five tiers, no one can actually compute  
13 the rate. So any time when we talk about dynamic  
14 pricing, we go to our next steps forward, we've got to  
15 fix the current system.

16 And the other thing that Jim mentioned which is  
17 very important is that we don't want to send the wrong  
18 signals to customers like who are installing solar, where  
19 their expectation is a three-year payback and it becomes  
20 10 years. We know that the rate design that we have is  
21 unsustainable, it has to be changed. And change requires  
22 time, so we don't have time on our plate right now  
23 because the lower tier customers, we cannot have a rate  
24 revolt with lower tier customers, as well, because  
25 they're not used to rate increases. So we need as much

1 time now to address all the inequities that have been  
2 built up in the rates.

3 And the other thing is that, when our rates are  
4 so different between CARE and non-CARE, where average  
5 CARE rate is around \$0.096 and the top marginal non-CARE  
6 rate is \$0.34, you know that customers who are making a  
7 few dollars above the CARE threshold, who are actually  
8 ending up paying those very punitive rates. So we've  
9 lost the, you know, balance in this.

10 MS. GRIFFIN: Okay, I'm going to go back to  
11 Stephanie on affordability and, after that, we're going  
12 to go to our other invited guest, Chloe Lukins from DRA.

13 Stephanie, you mentioned about affordability  
14 and I was interested in what kind of concepts go into  
15 that, again, thinking about, as we're trying to increase  
16 our renewables portion of our overall generation,  
17 sometimes we hear, "Oh, it's going to cost too much,"  
18 well, how do you decide what is too much?

19 MS. CHEN: Hmm, that's a difficult question.  
20 And I think that there is the sort of aggregate question  
21 of what is too much, and then the individual question of  
22 what is too much. One of the measures that the CPUC  
23 looked at, I believe in 2007 in a report completed by  
24 KEMA, was energy burden and energy security, and looking  
25 -- that basically boils down to what percentage of your

1 household income every month is spent on energy. And  
2 there's sort of an understanding among consumer advocates  
3 and other stakeholders in the industry that a certain  
4 percentage, maybe around six percent, let's say, is  
5 reasonably defined as manageable, and that of course  
6 being a percentage, it kind of fluctuates with your  
7 income level. Well, most of our low-income customers are  
8 well above that, and so I think that the more you get  
9 into 10 percent, 15 percent of your monthly household  
10 budget, going into energy, then the more likely it is  
11 that you're going to fall behind. So I think if you're  
12 looking at what measures of affordability, what do we  
13 need to look at, we need to look at that. I realize that  
14 we're never going to -- we're probably never going to hit  
15 the mark in terms of everybody having what is sort of  
16 universally considered to be an appropriate energy  
17 burden, but I think it's important to keep our eye on  
18 that prize and, as we're moving forward, see if we can  
19 stay as close as possible to that point. And if that  
20 point isn't reached, let's say, by the CARE Program, then  
21 what do we need to do to the CARE Program to make sure  
22 that it is?

23 MR. TRACY: Can I make a quick comment?

24 MS. GRIFFIN: Yes, please.

25 MR. TRACY: On affordability, I think that, you

1 know, I guess from my perspective with SMUD, is that we  
2 can deal with the issue of affordability with the  
3 residential customers by tweaking the energy efficiency  
4 programs with low income folks with tweaking the  
5 discounts. I think one of the big issues around  
6 affordability that you have to keep your eye on is maybe  
7 the chamber of commerce should be doing exit studies on  
8 commercial customers that leave the state, and say, okay,  
9 how many commercial customers are picking up routes,  
10 moving somewhere else, as a result of, in part, higher --  
11 you know, differential electricity prices? When you  
12 start seeing customers beginning to leave the state, that  
13 certainly should be one of the litmus tests because, if  
14 you have commercial customers leaving the state, talk  
15 about fixed costs that didn't have to be borne by  
16 residential customers who are still here, that's going to  
17 create a big affordability issue, too.

18 MR. SINGH: Talk about loss of jobs and, you  
19 know, would the CARE customers want a CARE subsidy or a  
20 job?

21 MS. GRIFFIN: Okay, Chloe?

22 MS. LUKINS: Thank you. My name is Chloe  
23 Lukins with DRA, and I work in the Procurement and RPS  
24 and Greenhouse Gas Cap-and-Trade area. And I just want  
25 to say, DRA does support renewables, but we want it to be

1 cost-efficient. And hearing everyone talking, we all  
2 know that the prices are going to go up. Right now,  
3 about maybe a little over 50 percent of renewables are on  
4 line, and we are going to see the costs go up because  
5 more renewables are going to come on line. And you'll  
6 see one of the reports that the PUC put out recently, the  
7 2011 Fourth Quarter Report, showing that -- you'll see  
8 that the costs now that they're being paid for contracts  
9 for generation that's coming -- renewable generation  
10 that's on line, and those that they're signing contracts  
11 going forward have increased quite a bit. So one idea to  
12 kind of bring out there is that I'm hearing a lot of  
13 people talk about the demand-side programs like Net  
14 Energy Metering, CSI, and distributed generation; and  
15 what would be good is that these demand-side programs  
16 really be counted towards reducing our overall  
17 electricity need, and with that, for reducing our RPS  
18 need and therefore our cost because I think you have to  
19 talk about RPS hand-in-hand with overall procurement.

20 COMMISSIONER PETERMAN: I just had a comment.  
21 You know, I agree, and you talk about RPS as part of the  
22 overall procurement and there was one of the questions  
23 that we touched upon earlier that gets to that, about the  
24 relative cost of renewables to other costs such as, for  
25 example, distribution upgrades, natural gas pipeline,



1 upgrade safety, etc., and partly part of the discussion  
2 is making me -- this discussion illuminates that there  
3 are some challenges with rate design, generally, and  
4 trying to get a sense of how much of these are then going  
5 to be further driven -- will renewables add to the  
6 complication, or renewables -- something that's going on,  
7 but the complications exist whether we have renewables or  
8 not?

9 MS. LUKINS: I think that renewables, there are  
10 a lot of things associated with cost of renewables,  
11 there's the greenhouse gas cap-and-trade cost, also  
12 there's going to be the back-up generation, the fast  
13 ramping generation that's going to be needed, there's  
14 going to be also resource adequacy associated with the  
15 renewables, maybe some of the renewables may not have  
16 resource adequacy associated with it. And also, the  
17 transmission lines, which we've seen a lot of that  
18 already come on line, but there might be more that needs  
19 to come on line, too.

20 MS. GRIFFIN: Does DRA have a general kind of  
21 rule of thumb such as the one that Greenlining suggested  
22 about what constitutes affordability, either for the  
23 system average -- who doesn't exist to customer -- and  
24 for the low-income customer?

25 MS. LUKINS: Not that I know of, no.

1 MS. GRIFFIN: No, okay. Another -- I keep  
2 checking my list because I was enjoined to cover all the  
3 items on the questions.

4 COMMISSIONER PETERMAN: And can I just  
5 interject and say, you know, particularly on the issue of  
6 affordability, maybe we'll get back there, but that's  
7 something if any parties, both on the panel, or in  
8 comments, want to submit some suggestions about how one  
9 can look at affordability, that would be greatly  
10 appreciated because it is -- it comes up a lot and we are  
11 concerned with affordability, but we also want to think  
12 carefully about how to measure that.

13 MS. GRIFFIN: Another question that we had in  
14 this panel, Cost Containment was discussed a little bit  
15 in the prior panel on procurement, but are there rate  
16 design approaches that could be used to address some of  
17 the concerns about the cost of going to 33 percent by  
18 2020? Anybody?

19 MR. BRILL: You know, one of the things --

20 COMMISSIONER MCALLISTER: I want to hear this,  
21 I was out of the room for the last ones.

22 MR. BRILL: Now I have to call you Commissioner  
23 to --

24 COMMISSIONER MCALLISTER: Yeah, exactly.

25 MR. BRILL: Thank you. One of the things about

1 the rate design that we're talking about, the tiered rate  
2 design, is because upper tier rates are one-third of  
3 residential through-put, if you have a one-cent increase  
4 to system average rates, resulting from the RPS, and that  
5 would be an increase from today by the time we reach 33  
6 percent, that's three cents for upper tier customers.  
7 And so it's really important from a rate design  
8 perspective to remember that, in the residential sector  
9 for us, because that's one-third of through-put and for  
10 each utility, it's going to be different, the multiplier  
11 will be different, but when you increase those  
12 residential class average rates by a penny, it's three  
13 cents for those upper tier customers. That's the kind of  
14 thing that triggers an awful lot of adverse consumer  
15 reaction, especially in a hot summer.

16 COMMISSIONER PETERMAN: I wonder if you can  
17 comment on, you know, looking at rate cases over the past  
18 however -- 10 years, or last few -- what has been the  
19 change in rates during those periods of percentage  
20 increase?

21 MR. BRILL: You know, I don't have those  
22 numbers at my hands, so I can't give you a specific  
23 number. Perhaps Edison or PG&E?

24 COMMISSIONER PETERMAN: Yeah, I'm just trying  
25 to get some perspective -- context. Any thoughts?

1           MR. SINGH: I think we have been generally in  
2 line with inflation, maybe lower than inflation, our  
3 system average costs, but as my slide showed, it's a  
4 different story for Res customers, for the upper tier  
5 customers.

6           DR. BORENSTEIN: And if I can add, I think that  
7 that's what's really driving PG&E's comment about  
8 sustainability and a number of other concerns, is that  
9 the costs of solar PV have come down partially because of  
10 real declines and partially because of really huge  
11 increases in Federal subsidies, to the point that it is  
12 now becoming privately profitable for some residential  
13 customers to install solar if they think that this rate  
14 structure is going to continue. And this rate structure  
15 doesn't reflect even close to the real costs to  
16 utilities, so back when we had these subsidies in 2005  
17 and 2006, and the full installation cost was still above  
18 \$6.00 or \$7.00 a watt, not many people were willing to do  
19 it because they lost money at it, privately. Well, now  
20 we're getting to the point where people, some people, if  
21 they believe this rate structure will continue, could  
22 actually save money. And what the utilities, I think,  
23 are worried about is an avalanche because, at that point,  
24 if you start having a lot of people say, "Boy, this is  
25 actually -- forget about the environment, and forget

1 about being green, I can just spend less on my energy  
2 bill," then you could really have a run on the bank. And  
3 then the fact that these rates do not reflect real  
4 changes in the cost of providing energy, makes it  
5 unsustainable; they never reflected the real cost of  
6 providing energy, but it was sustainable so long as not  
7 many people wanted to do it. And I think the fear now is  
8 we could get into a situation where I guess it's the  
9 dream of the Solar PV industry where it really takes off,  
10 and then just simple arithmetic says you can't cover  
11 costs.

12 MR. BRILL: There is one thing -- I'm sorry --

13 MR. GARWACKI: This is Russ Garwacki at Edison.  
14 You started talking about CPI and inflation adjusted rate  
15 levels. If we look back over the last 20 years, from  
16 Edison's perspective, we're probably about 15 percent  
17 below in terms of real terms in the system average rate  
18 relative to that which existed in 1990. And that will  
19 vary year in and year out, depending on whether or not  
20 you have DWR contracts coming in, or DWRE funds, etc.,  
21 but the issue there is that the overall rate levels to  
22 some extent have been held in check, especially lately  
23 with some lower gas prices, but that still doesn't  
24 affect, you know, the upper tier differential that we're  
25 seeing. I mean, we still have a 2.5:1 ratio, at least

1 for the non-CARE rate levels, and I would just echo what  
2 other parties have said is that, once we start catching  
3 up to inflation, if that does occur, we're going to have  
4 hell to pay once any type of a feed storm comes through;  
5 but in terms of inflation adjustments, that issue came  
6 up.

7           A couple other comments just because I had my  
8 hand up and I didn't know if the Moderator could catch it  
9 or if this was just a free for all, but when we start  
10 looking at tiered pricing, at least the focus groups that  
11 I've sat in on over the last year and a half, folks both  
12 in CARE and non-CARE customers, they understand the  
13 concept of using more and paying more. Now, whether or  
14 not they're confusing that with using more and paying  
15 exponentially more, I'm not sure if they clearly  
16 understand those concepts. But in terms of actual  
17 measurement, what we've done, and at least what we put in  
18 our 2012 rate case, is that we quantified what the impact  
19 is for the lower usage -- or lower income customers, and  
20 the fact is that if you're charging them less, lo and  
21 behold, their rate of increased consumption is higher  
22 than the non-CARE. So the economics is clear in that  
23 regard, and so then you have to start looking at whether  
24 or not this is strictly a temporal, by Time of Use, or  
25 whether or not that's actually holding through, through

1 conservation principles, as well.

2 COMMISSIONER MCALLISTER: Yeah, I actually want  
3 to chime in here. So all these issues we've been talking  
4 about are interrelated and let's see, so on the one hand  
5 you have distortions related to, you know, arguably that  
6 the scale is arguable, but with Net Metering, for  
7 example, you know, you've got -- you know, Tom and I have  
8 talked about this a lot, where you have these tiered  
9 rates are sort of an artifice of legislation, and so I  
10 want to actually get some idea from the utilities how  
11 much they feel like, within the existing ratemaking  
12 processes, if AB1X, for example, went away tomorrow, how  
13 that would free them up to sort of fix some of this  
14 within the existing process. You know, my understanding  
15 is that the PUC at some point -- I'm not sure if Scott  
16 Murtishaw is on the phone -- but is likely to open an OAR  
17 on ratemaking, so that we don't have to have this  
18 discussion within rates -- within rate cases, but we can  
19 have them more out in the open and in sort of a forum  
20 that's meant to have this discussion.

21 So one question is just, you know, what it  
22 might look like if we untied our hands a little bit on  
23 the rate design process. On the rate structure, so the  
24 billing and the idea that customers have a hard time  
25 understanding their bills, I guess I agree with that,

1 with what folks have said, that it's very difficult for  
2 the individual customer. I'm wondering, though, about the  
3 contractors, I mean, some of them actually have proven  
4 quite sophisticated to offer the right system with the  
5 right value proposition for a given customer. So they  
6 clearly have figured that out. And, granted, there is  
7 some fat in the system with Net Metering being the way it  
8 is, and the tiered structures and everything, so it's not  
9 that difficult to make a very solid value proposition to  
10 a given customer, but I feel like the danger in sort of  
11 renouncing the aggressively tiered structures too  
12 quickly, or the existing structures, I should say, too  
13 quickly, is that we would sort of push the solar  
14 industry, or push DG off a cliff and say, okay, well,  
15 we're going to end Net Metering as we know it, but then  
16 we're not going to have anything to sub for it, or to  
17 have a continuous sort of tapering off of that industry.  
18 And that would be sort of the worst of both worlds. So  
19 anyway, any comments on that, because what is the  
20 alternative to Net Metering, given that we're talking  
21 about the FIT, we're talking about all these other  
22 things, what is some medium -- intermediate ground that  
23 can allow for a value proposition within the changed  
24 market that's been referred to, right, we have lower  
25 costs, we have a lot of advantages that we didn't have a



1    few years ago when all these programs started. But if --  
2    you know, the end result can't just be, "Okay, we're  
3    going to get rid of these distortions from one day to the  
4    next," and then let the chips fall. I don't think that's  
5    acceptable, either. So hopefully the PUC can manage that  
6    discussion in the OIR and we can help in the IEPR  
7    process, or otherwise, facilitate this discussion. So,  
8    Severin?

9                    DR. BORENSTEIN: Well, first of all,  
10   Commissioner McAllister, I think you were out of the room  
11   when I gave my presentation, but I made this distinction  
12   between Net Metering and Increasing-Block Pricing that I  
13   think is very important. And I think that -- I should  
14   say, no one thing we should get rid of Net Metering, but  
15   I think it would be pretty easy to convince people Net  
16   Metering is not a big issue if we didn't have Increasing-  
17   Block Pricing. It's the Increasing-Block Pricing that's  
18   creating the problem here. And I'm pretty hesitant to go  
19   down the road of saying, "Yeah, we all know this is a  
20   structure that doesn't have anything to do with cost, but  
21   we should keep it to keep the solar industry alive." If  
22   we want to keep the solar industry alive at high cost, we  
23   should, I would argue, be more transparent about that and  
24   say we're going to charge for electricity, what  
25   electricity really costs, or something closer to what

1 electricity really costs, and we're going to incentivize  
2 solar directly and recognize those costs. Because all  
3 we're doing right now is hiding them.

4           Now, I guess I'd like to hear how SMUD handles  
5 this because SMUD, first of all, has a much less  
6 aggressive Increasing-Block structure, and do -- and  
7 maybe has much more aggressive solar subsidies because  
8 SMUD also has a lot of residential solar PV that's still  
9 getting put in, don't they? Even at \$0.18 peak, or  
10 highest tier.

11           MR. TRACY: Well, some of the things that SMUD  
12 has tried to do, like the Solar Shares Program, where we  
13 simply said, you know, the economies of a more commercial  
14 size installation, and then we effectively do a pseudo-  
15 bill, you know, so we take the value -- or the output of  
16 this facility, and we give customers the credit as if it  
17 was on their rooftop. And there's probably 40 or 50  
18 percent of our customers who are not really well  
19 situated, either they are apartment dwellers, they have  
20 shade trees, the roof is wrong, the orientation is wrong,  
21 that can't really participate in the SB 1 kind of  
22 programs as they were originally designed. So SMUD has  
23 tried to be pretty innovative to work with its large  
24 customers and develop that, but one of the things that is  
25 interesting about the whole distributed rooftop solar is,

1 you know, I question in the long run whether all of the  
2 costs associated with the small rooftop solar is yet to  
3 come home to roost. SMUD very early on had programs  
4 called the PV Pioneers, and we had all these rooftop  
5 solar, and it cost us almost as much to deal with the  
6 customers at the tail end of that program because of  
7 people complaining that the attachment was ruining their  
8 roof, and they had a leaking roof, and what do you do  
9 when your roof has to be changed out, and you've got the  
10 solar facility on top, there's extra costs associated  
11 with that, are the contractors going to be responsible  
12 for that cost or not?

13           You know, if the costs weren't -- I mean, if  
14 it's a cost benefit for the customer, fine, I'm not  
15 necessarily a huge fan of rooftop solar for residential.  
16 I think it works much better for commercial buildings  
17 where you have flat roofs and they have roofs that are  
18 more adaptable to solar, to smaller one to five megawatt  
19 installations around the system, that type of distributed  
20 solar. So it's just an interesting whole value  
21 proposition out there as to how much you really push the  
22 residential retrofit market.

23           DR. BORENSTEIN: Yeah, at the risk of sounding  
24 like a shill for SMUD, I think this is a great example of  
25 how taking out the implicit subsidies and making them

1 much more explicit leads to better policy because, when  
2 you make it explicit, it becomes clear that, if that's  
3 what we're trying to do, oh, here's this alternative way  
4 of doing it, of putting solar where it's actually  
5 efficiently installed, not on the residential rooftop,  
6 but letting people essentially have a contractual  
7 relationship with the solar, gets you the same amount of  
8 solar and does it much more efficiently. But you're not  
9 going to get that if the only way people can do it is by  
10 putting it behind their meter, which is how we do it now.

11 COMMISSIONER PETERMAN: I wanted to mention,  
12 well, I think Tom is going to make a comment, but then  
13 after that, if Stephanie -- I know you're on the line, it  
14 might be hard to interject on WebEx, but if you had any  
15 comments. But let's hear from Tom first.

16 MR. BRILL: Yeah, I'll just make a couple of  
17 comments. You know, the State obviously has a Net Zero  
18 Energy Construction Policy, and it makes sense, I think,  
19 for us to step back for a second and think about, in that  
20 type of world, what services would those buildings and  
21 homes require from utilities, and to utility rates, where  
22 rate design currently allow utilities to charge for those  
23 services, that they will require is reliability services.  
24 Currently, utilities are not allowed to charge  
25 residential customers for reliability services. And if

1 you go back historically when we unbundled or deregulated  
2 the price of natural gas at the wellhead, and we started  
3 to implement that through FERC Order 636, we unbundled  
4 the price of interstate transportation from the price of  
5 commodity, when we did the same thing in California under  
6 the CPUC's Capacity Brokering Proceedings, we unbundled  
7 the price of commodity from distribution rates. When we  
8 did the same thing, gave customer choice on electric  
9 commodity purchases from central station resources  
10 through a marketer under AB 1890, we unbundled the price  
11 of commodity from the cost of transportation because we  
12 were trying to get accurate price signals to customers,  
13 we have yet to do that in the rooftop solar market. And  
14 in that market, the reason is that what we're unbundling  
15 is not the transportation service that we all understand  
16 and accept and easily are able to grasp with, what we're  
17 now unbundling is something we've never charged for  
18 before, reliability services. We never charged before  
19 because generation was central station on the other side  
20 of the meter, so no one ever thought about T&D costs  
21 being used for this new thing called reliability as  
22 opposed to transportation. But if we want to have Net  
23 Zero Energy Construction Policy in California, we're  
24 going to have to make sure that the utility business  
25 model and rate design structure is designed to support it

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 so that utilities can sell the services that those  
2 customers will need, and those customers know that they  
3 have those services available. If we do that, there will  
4 also be a price signal so customers can consider  
5 distributed electricity storage as an alternative to  
6 utility services. Today, they have no price signal with  
7 which to do that, but with that unbundled price signal,  
8 we're going to actually encourage innovation which  
9 currently is being stifled by the lack of that price  
10 signal in the retail market.

11 COMMISSIONER PETERMAN: Tom, this is  
12 Commissioner Peterman. I think those are all very good  
13 points and I will expand, though, that I think we need to  
14 consider what the right rate structuring utility model is  
15 for the host of clean energy goals that we have, because  
16 when we think about transportation, electrified system,  
17 vehicle to grid, possibly having customers providing  
18 their own storage, again, there's going to be different  
19 models, especially as we pursue generally DG goals,  
20 whether it's solar PV or small wind, there's also  
21 challenges with utilities currently either sometimes  
22 having zero load growth, or even negative load growth,  
23 you know, how do you price that? How are you thinking  
24 about reliability when you're encouraging the DG, but  
25 you're not having revenue to offset that? So I think

1   that's all very general and good points.

2                   MR. BRILL:   And just to echo with what you're  
3   saying because, you're absolutely right, all the policies  
4   embraced in SB 17, the Smart Grid statute, really  
5   envision this end-to-end system that will call on  
6   resources behind the meter for capacity ancillary service  
7   commodity, whatever, all the way up to central station  
8   resources.   To make that type of end-to-end grid work in  
9   a seamless, least cost, lowest emission manner, you're  
10   going to have to have price signals on an unbundled basis  
11   because that's thousands of transactions a day.   It's  
12   much like locational marginal pricing on the transmission  
13   grid, you can only really achieve that vision with  
14   accurate unbundled price signals to run it.

15                  MS. GRIFFIN:   You wanted to turn to Stephanie?

16                  MS. CHEN:   Thank you.   This is kind of an  
17   interesting conversation and it sort of mirrors the  
18   conversations that have been going on inside our office  
19   of late.   As low income advocate, on the one hand, net  
20   metering and distributed generation, you know, if you get  
21   an installation through the SASH Program from Grid  
22   Alternatives, that's one of the best affordability  
23   measures we can provide because you are generating some  
24   of your own usage, you're reducing what you're pulling  
25   down from the utilities, we think that's fantastic.   The

1 problem is, as has been acknowledged by other panelists  
2 earlier, not everyone is in a position to do so, and it  
3 doesn't just have to do with the CSI subsidies, for  
4 example, which are largely enabling, I think, most of the  
5 residential solar installations that are going on in the  
6 state today.

7           Once those go away, or if you're not -- if you  
8 are a renter, if you won't have the right kind of roof,  
9 it if doesn't face the right way, if you've got too many  
10 trees, things like that, you're just not well-positioned  
11 to kind of DRY in the way that Net Metering encourages  
12 and, you know, there's been much talk about the cross-  
13 subsidy that comes up from Net Metering, and I think this  
14 is definitely something that sounds like the PUC is going  
15 to be considering among its other things when it engages  
16 in the rulemaking that has been promised. But what I  
17 started to think in all of this, Commissioner Peterman,  
18 you mentioned that there are going to be so many  
19 different models for different kinds of customers,  
20 customers who invest in DG, customers who buy an EV,  
21 customers who purchase some sort of other storage for  
22 themselves to better take care -- to better utilize, I  
23 guess, maybe the solar that they're putting on their  
24 roof.

25           With all these different models, I think it's



1 going to be very easy for all of us who are -- let's be  
2 real, energy nerds -- to overlook the just simply want  
3 and need to relate it to the utility in largely the same  
4 way as they have been. They're not getting into any of  
5 the fancy new technologies, they're just trying to use  
6 responsibly and keep the lights on. And so I worry that  
7 in the quest to design the perfect set of systems for  
8 very sophisticated energy customers that we will lose  
9 sight of -- or treat as an afterthought the customers who  
10 just aren't energy savvy in that way and don't want to  
11 be. I mean, these are customers who understand that  
12 conservation is good, either for the environment, or for  
13 the wallet, or for both, but they're not going to be  
14 getting all tricky with their energy use, and I think  
15 that we need to -- we need to make sure that we're taking  
16 those into consideration as this starts to get vastly  
17 more complicated.

18 COMMISSIONER PETERMAN: I'll just note, I think  
19 that's a good point, I'm just sitting here thinking about  
20 phones and how, even though I really admire iPhones, I  
21 don't really want one because I don't have the dexterity  
22 to do the sliding and all that jazz, but it's very easy  
23 to get yourself a basic dial-up phone, still, but it's  
24 harder to do something with the equivalent range in the  
25 electric sector, and there goes the problem.

1 MS. CHEN: Exactly, and I think -- I'm sorry,  
2 the question of the iPhone uptake is a big one, too,  
3 because I think, as we're talking about some of these  
4 different rate structures that we're looking at to help  
5 bring the cost to the customer truer to the costs to the  
6 utility, a lot of them rely on that kind of instant  
7 information, and if you don't have a Smart Phone, or you  
8 don't have text messages on your cell phone, that could  
9 be a real issue for you and make it very hard for you to  
10 save money as you need to on some of these time varying  
11 rates. I think one of the fun examples is, ask everyone  
12 in the room, and unfortunately I can't see everyone, but  
13 ask everyone in the room who has got a Smart Phone.  
14 We're not designing policies for the people in the room,  
15 we're designing policies for the people outside the room,  
16 and I think we just need to remember that.

17 MR. GARWACKI: This is Russ Garwacki.  
18 Following up on what Stephanie just mentioned, I think  
19 she's dead-on right because, when we start looking at the  
20 number of NEM customers that we have, for example, we're  
21 probably at about 35,000 installs on the residential  
22 basis, yet we've got 4.2 million residential customers.  
23 So when you do a percentage basis, we're really managing  
24 to a very small segment of the population and I know my  
25 marketing -- or I know the marketing folks at Edison will

1 shoot me, but most people don't wake up in the morning  
2 thinking how they're going to expand their relationship  
3 with Edison.

4 [Laughter]

5 They want to get through the day. They want to get  
6 through the day. You know, but case in point, I mean,  
7 not to let this one particular section dominate the  
8 policies, and I think somebody raised up the issue of you  
9 know, throwing solar off a cliff, if we modified the rate  
10 structures. One of the things I would suggest folks to  
11 do, and maybe we'll put it into comments at some point in  
12 time, is what I have drafted up is PG&E's Cumulative  
13 Installs for Solar, and that's all online from that  
14 California Solar Statistics, which is a really cool  
15 website if you haven't looked at it, but when you track  
16 the solar installs on a cumulative megawatt basis, and  
17 you put some lines in as to where their summer initiative  
18 went from a \$0.50 top tier down to a \$0.40, and then  
19 ultimately to a \$0.30 top tier rate, which on a cents per  
20 kilowatt hour basis, is huge, they've undergone some very  
21 dramatic changes in their upper tier rates, and it hasn't  
22 affected the trend line of solar installs one iota. And  
23 so, if any time is a good time to effect change in this  
24 regard, it's probably now while the trend line is moving  
25 up, let's go ahead and capitalize on that trend line

1 while we can. I think that would be useful for at least  
2 parties to look at, and that will probably show up in  
3 some papers in the near term that I looked at putting  
4 together.

5 MS. GRIFFIN: I'd like to turn a little bit to  
6 commercial and industrial rates since they are more than  
7 half of your total customer base in terms of usage. Do  
8 you think that the commercial and industrial rates that  
9 you have now are incent, disincent, or are neutral on  
10 both customer-side renewables and the amount of grid-side  
11 renewables we're adding?

12 MR. BRILL: All right, I'll do it again. I'll  
13 do it quickly. For large -- for medium and large C&I  
14 customers, for us at SDG&E, we've got very accurate price  
15 signals, we have a demand charge structure with non-  
16 coincident demand charge and system peak demand charge.  
17 That has a very accurate price signal. For all of our  
18 other customer classes, we have all volumetric energy  
19 rates, those are far less accurate price signals. We've  
20 got about 50 percent of our Net Energy Metering  
21 penetration in C&I markets, and about 50 percent in  
22 residential. So we're not seeing clear evidence that  
23 more accurate price signals are harming that market,  
24 although in my own mind right now, as I speak, I'm not  
25 recalling how much those installations, or medium and

1 large C&I compared to small C&I, so there may be some  
2 additional research that's warranted.

3 MS. GRIFFIN: That's interesting, I hadn't  
4 heard that before, that half of your Net Metering is on  
5 the commercial industrial side. Is that the experience  
6 of the others?

7 MR. SINGH: Yeah, it's the same for PG&E, we  
8 have -- I don't know if the split is exactly 50/50, but  
9 we have pretty substantial on the commercial side,  
10 industrial side.

11 MS. GRIFFIN: And in your rate cases, or in  
12 DRA, do you all hear cross-subsidy arguments within those  
13 sectors? Or are they all -- okay, fine.

14 MR. SINGH: I think all customers are concerned  
15 about the cost, so obviously they want to keep the rates  
16 down and keep rates competitive, and stay in California.  
17 They do engage in rate cases on subsidy issues, but the  
18 biggest issue that they have participated, at least in  
19 our recent rate case, actually, was the CARE subsidy  
20 because, you know, that's a \$700 million subsidy and a  
21 good chunk of that is picked up by non-residential  
22 customers.

23 MR. TRACY: I was going to say that, in the  
24 SMUD service territory, the vast majority of the SB 1  
25 solar that's happening right now is commercial, even

1    though it's a lower price, the equation of people putting  
2    it in, because they're bigger installations, it's more  
3    cost-effective. We have more commercial installations.  
4    It was kind of interesting, though, prior to the  
5    recession, I almost forgot about this, but our  
6    residential was cooking along pretty well because we  
7    worked very hard with all of the housing developers, the  
8    Lennar's and the large home builders. And we actually  
9    arranged contracts for them to do sort of the low use,  
10   Net Zero kind of communities where, you know, every house  
11   they built in a subdivision would have solar integrated  
12   into their roof, which made it much more cost-effective  
13   if you were planning a Greenfield residential community,  
14   you could get the orientation, you could design it so the  
15   solar worked and it was a lot cheaper. We had signed a  
16   lot of those, and then when the recession hit, I think  
17   we'd been averaging about, you know, less than 200 lots  
18   per year for the last five years, so I'd kind of  
19   forgotten about that.

20               DR. BORENSTEIN: Yeah, if I can -- I think  
21   you're not going to see this concern about cross-subsidy  
22   in the C&I because you don't have Increasing-Block  
23   Pricing, and can't in C&I. And so the big cost subsidy  
24   is not the Net Energy Metering, it's the Increasing-Block  
25   Pricing, and the marginal rates that C&I customers face,

1 particularly the large C&I customers, are much more  
2 reflective of true energy prices, and so when they put in  
3 a big solar, they're still getting a huge cross-subsidy  
4 from Federal tax revenues, but they're not getting it  
5 from other ratepayers.

6 COMMISSIONER MCALLISTER: I'll chime in and  
7 agree with Severin on that. In SDG&E territory, where in  
8 a recent former life I did a lot of analysis, and knowing  
9 what the CSI looks like, I mean, Stephanie said a little  
10 while ago that, if the CSI has been driving the  
11 marketplace -- actually, that's been a while since that's  
12 been the case; really, we're talking about accelerated  
13 appreciation and Federal subsidies, in addition to the  
14 Net Metering incentives -- or the Increasing-Block  
15 incentives, rather. But in the C&I customer base,  
16 basically the project flow for solar is stagnant because  
17 it's right at the margin of what's cost-effective --  
18 what's really doable, what pencils out. You've got some  
19 contractors that are making it work with some fairly  
20 optimistic assumptions, some of which are happening and  
21 some aren't, but really, it's a completely different  
22 marketplace than the residential, so I think a lot of  
23 what's driving this discussion is the residential  
24 marketplace and not so much the commercial where things  
25 are, actually, a lot more transparent and sort of

1     rationally understandable.

2                   DR. BORENSTEIN:   And if I can just add, I think  
3     that's a real shame because the C&I costs really are much  
4     much lower than the residential retrofit costs for solar,  
5     and so if we wanted to do solar in a way that minimized  
6     costs, but increased renewables, it makes a lot more  
7     sense to be putting them on the rooftops of Wal-Marts  
8     than to be putting them on individual houses, some of  
9     which face the right direction, and some of which don't,  
10    but because of the rate structure, we're tilting it the  
11    other way.

12                  COMMISSIONER MCALLISTER:   Well, there's also --  
13    so I would call out schools, as a place where it will be  
14    interesting from a social perspective, and also from sort  
15    of -- it's generally a non-residential C&I type tariff  
16    that they face, so that's a place where you could kill a  
17    lot of birds with one stone, so to speak.   Yeah, but  
18    there may be other social reasons to want to allow  
19    participation in some way in California for people to put  
20    solar on their roofs, but, again, that's a calculus  
21    that's better -- I agree with you, that's a calculus  
22    that's done hopefully with information and out in the  
23    open, rather than sort of implicitly behind the scenes.

24                  MR. GARWACKI:   This is Russ Garwacki.   Just to  
25    put some junk math around this, when we start looking --



1   you asked what the split was between C&I and Res, and the  
2   numbers that we see, at least current installed, is about  
3   60 percent of the installed megawatts at C&I, and about  
4   40 percent Res. And so that's the installed component.  
5   When you start looking at the NEM subsidy component, it's  
6   about 7:1 ratio in favor of Res. And so that just tells  
7   you how upside and how different the rate structures are  
8   -- and transparency was mentioned -- between C&I and Res.

9               Now, the other part that has come up in a few  
10   of our cases, in a few of the IOUs cases, is this notion  
11   of an Option R rate where what some of the solar  
12   installers have done and lobbied successfully in our  
13   case, what we've done is we've looked at the resulting  
14   load profiles associated with customers after they've  
15   installed solar, and obviously the solar load profile  
16   during the day reduces somewhat the demands coincident  
17   with system peak, and somewhat coincident with circuit  
18   peaks. And so that's reflected in the rates. And so  
19   those types of things can be done fairly straightforward  
20   -- much easier on a C&I basis. The utilities have that  
21   type of control available to them, which just eludes us  
22   on the residential side.

23              MS. GRIFFIN: Okay, one of the questions that  
24   we haven't touched on is timing in terms of where we're  
25   going to be paying for our 33 percent renewables, and our

1 DG, and our transmission, and distribution. Is this just  
2 going to add on a little percent every year? Or do you  
3 see that there's a huge wave of costs coming right now?  
4 Or maybe there's a wave coming at the end of 2020 and  
5 beyond? When these things are coming on line, does that  
6 have an impact that flows through immediately into your  
7 issues about how to best design your retail rates up  
8 through 2020, say?

9 MR. SINGH: Yeah, I think I gave a little  
10 illustration of that in the overall system average chart  
11 that I had, where you can see that they're starting to  
12 roll in now because that's when most of the contracts are  
13 starting to deliver, and then it does increase going  
14 forward into the future years. So that's more of a  
15 reason why we need to address a rate design issue  
16 because, now, instead of beating inflation, we're seeing  
17 rates actually growing higher than inflation.

18 COMMISSIONER PETERMAN: Anyone else?

19 MR. TRACY: Yeah, and I think SMUD's concern is  
20 that, when you're talking about the whole rate structure,  
21 the renewable portion of it is just a piece of what  
22 drives rates, and what we've been seeing in the last  
23 three years is a substantial reduction in cost of service  
24 from natural gas. Now, there's, you know, you can talk  
25 to 10 people and you get 10 different answers as to where

1 natural gas prices are going to be in five or 10 years,  
2 but they aren't going to be at \$2.00 and \$3.00, that's  
3 not sustainable for the industry. They're probably going  
4 to be north of \$4.00, you know, it's basically whatever  
5 the replacement cost of shale is, and that's probably in  
6 the \$4.00 to \$5.00 range at some point. But when --  
7 actually, for most of the utilities in California,  
8 natural gas prices have more impact on rates than do the  
9 renewables, and so you know, policies around how we phase  
10 in or procure our natural gas, you know, if you're  
11 procuring natural gas on a year-to-year basis, that can  
12 have some pretty significant oscillations in overall  
13 utility costs and rates, as opposed to maybe paying a  
14 little bit more and procuring out three or four years.  
15 So, I mean, you know, for SMUD, the renewables are a  
16 component as of right now, at least in the foreseeable  
17 next three years, is the primary driver of the rate  
18 increases that we're going to be looking at.

19           And, you know, the thing that SMUD does  
20 differently than the private utilities is that, when we  
21 go to change our rates, and I don't look forward to it at  
22 all, but the senior staff has to go out in the community  
23 and we have well over 100 meetings with the Elks Club,  
24 with the Chambers of Commerce, to give presentations on,  
25 you know, what's driving rates, what the change is we're

1 making, and those are things that we talk to the general  
2 public about. But, I think there's this element of just  
3 what is the rate that is being foisted on the consumer,  
4 but how much information is going out there to explain  
5 what's happening is a really important thing in terms of  
6 customer relationships and customer acceptance of what's  
7 going on.

8 MS. GRIFFIN: That's a nice segue into the next  
9 element which is asking the audience --

10 MS. LUKINS: I have a comment, if I could just  
11 make a comment on that?

12 MS. GRIFFIN: Chloe, please.

13 MS. LUKINS: I agree that I think that the RPS  
14 contracts are a small percentage of the revenue  
15 requirement. We estimate about maybe five percent RPS  
16 compared to the revenue requirement. And the revenue  
17 requirement is what fees -- I missed the benefit of  
18 Severin's talk, but the revenue requirement is what goes  
19 into the rate design.

20 The other thing is that we won't see the rates,  
21 or the rate impacts, until the generation comes on line,  
22 so maybe about 50 percent of the renewables are on line,  
23 so we have another 50 percent that's going to come on  
24 line, which will happen between now and 2016. So we will  
25 see a rate increase on that, but, again, to reiterate, I

1 agree with SMUD that it will be a small percentage, and I  
2 was just looking at the Power Purchase Agreements for  
3 renewables, however, again, there's the other procurement  
4 that comes into play like the back-up generation for  
5 renewables of transmission, the utilities' administrative  
6 cost to run these RFOs for renewables, and to manage the  
7 transmission lines.

8 COMMISSIONER PETERMAN: Thank you for that. I  
9 think, you know, you're right that we haven't seen yet  
10 the impact of the bills from meeting our 33 percent RPS  
11 target, which is why we're going to have this  
12 conversation now, to talk about is there a way to both  
13 communicate those potential rate impacts, as well as to  
14 reduce them. I think Commissioner McAllister had a  
15 question.

16 COMMISSIONER MCALLISTER: I just wanted to ask  
17 DRA, does DRA have a position on sort of the ratemaking  
18 issues that we're confronting and whether the PUC, you  
19 know, well, what role the PUC could play in sort of, you  
20 know, sorting out this issue of perceived or real  
21 distortions in rate structures with respect to -- well,  
22 really, the ratemaking process?

23 MS. LUKINS: Well, DRA -- we know that the  
24 Commission is going Time-Variied Rates, and we are  
25 advocating for the Time of Use, more so.

1 COMMISSIONER MCALLISTER: Uh-huh.

2 MS. LUKINS: And that's all, really, I could  
3 comment on right now about that.

4 COMMISSIONER MCALLISTER: Okay, but you would  
5 be ostensibly participating in that rulemaking if and  
6 when it comes around?

7 MS. LUKINS: Right and other -- right, and  
8 others (indiscernible).

9 COMMISSIONER MCALLISTER: Oh, great. And also,  
10 I wanted to ask Jim, so natural gas prices have gone  
11 down, you know, the last couple years, and they're  
12 historically low, you know, they may go lower, but I  
13 don't understand exactly how that could happen, but it  
14 might happen, have your rates gone down? What portion,  
15 you know, fuel costs, have they allowed you to actually  
16 reduce rates? Is there an adjustment there that  
17 customers are benefitting from as a pass-through?

18 MR. TRACY: Well, at SMUD, we do procure our  
19 gas a little bit differently than the other utilities in  
20 the state. We typically do sort of a rolling purchase so  
21 that we are locking in gas sort of on a 24 to 36-month  
22 basis out. So when gas prices go up, we don't see our  
23 costs go up all that quickly; when prices come down, the  
24 bad part of it is our costs don't go down as fast. But  
25 having said that, the lower gas prices that we're seeing

1 now are beginning this year to roll into our contracts  
2 and will be over the next couple of years. So what  
3 that's really done is not allowed for a rate decrease,  
4 it's allowed for a much smaller increase, so it's offset  
5 most of the costs of a couple of things that we ended up  
6 doing, one of them is at the front end of the recession,  
7 we had sort of restructured our debt so that, you know,  
8 we wouldn't have rate increases due to increasing debt  
9 service requirements. And we certainly put like a four  
10 or five-year window in there and now here we are, the  
11 economy is roaring along in Sacramento, and our debt  
12 service is stepping up over the next couple of years,  
13 too, it's kind of long term level. So there's some  
14 increase there, but the other piece of it, we knew that  
15 we were probably going to have about a seven percent  
16 overall increase from a couple years ago through actually  
17 getting our full 33 percent renewable in place, and it's  
18 allowed us to offset part of that increase, is  
19 effectively what's happening over the next two years.

20 MS. GRIFFIN: Are there any comments from the  
21 audience, people who want to join in?

22 MS. LUKINS: Can I just make one last comment?

23 MS. GRIFFIN: Sure, Chloe, go ahead. Oh, no,  
24 go ahead, go ahead. Sorry I didn't see you.

25 MR. PIERPONT: Brendan Pierpont from Climate

1 Policy Initiative. I noticed that you guys kind of got  
2 back a little bit to the Cost Containment issue. And I  
3 wanted to bring up kind of one point that I saw in a  
4 number of other states, particularly with the type of one  
5 or two percent rate impact limits that were put on  
6 policy. In a number of cases when those constraints  
7 weren't consistent with the overarching policy goals, the  
8 renewables targets, there were often kind of signals that  
9 the regulators and the utilities were more committed to  
10 the target, rather than the cost constraint. And because  
11 of things like ambiguity and how these things are  
12 calculated, and uncertainty and sort of what counts, what  
13 doesn't, the costs ultimately sometimes exceeded the  
14 intended limit, and so just in terms of how Cost  
15 Containment is implemented, it's important that it's  
16 consistent with the policy goal. So talking about all  
17 these affordability issues, it makes me wonder a little  
18 bit kind of these discussions should probably be taking  
19 place at the target setting level, rather than the  
20 implementing level, because it seems like, in a lot of  
21 cases, there's a bit of a disconnect.

22           And a second point around Cost Containment is  
23 there's often a lot of uncertainty and I think this is  
24 something that you guys are bringing up a lot here, is  
25 what's the baseline that you're comparing it to. Right



1 now, our baseline is very low natural gas prices which  
2 makes the incremental costs of renewables look much  
3 bigger than it did maybe five years ago. So just a  
4 couple thoughts from other states that I've looked at.

5 COMMISSIONER PETERMAN: Thank you. A quick  
6 follow-up question, Brendan. You talked about this work  
7 you're doing, doing a survey of the various states and  
8 looking at Cost Containment, where will we find this  
9 work? When will it be available?

10 MR. PIERPONT: So a report that is actually  
11 targeted towards the California audience should be  
12 available on our website shortly. You can also come to  
13 me and I will get business cards and email it to whoever  
14 is interested in taking a look at this -- it's not  
15 published quite yet, but I'm happy to share it with  
16 whoever is interested.

17 COMMISSIONER PETERMAN: Well, if it is  
18 published before we close out this IEPR proceeding, then  
19 please submit it to the record, otherwise we'll come for  
20 a sneak preview.

21 MR. PIERPONT: Thank you.

22 MS. LUKINS: May I ask, are you participating  
23 in the RPS OIR at the Commission -- they're talking about  
24 Cost Containment?

25 MR. PIERPONT: Not in any formal way. Part of

1 the reason for the work that I've been doing is because  
2 of the interest in the requirement that the CPUC would be  
3 developing, a cost limitation for the RPS, but I think  
4 that any kind of recommendations and statute are going to  
5 come from staff. But I have been talking with Paul  
6 Douglas and Jason Simon, but on this, so --

7 MS. LUKINS: Okay, I'd like to get your card,  
8 too.

9 MR. PIERPONT: Yeah. Thanks.

10 MS. LUKINS: Well, just a comment on what he  
11 was saying about Cost Containment, obviously we know that  
12 if we have Cost Containment, it will keep the rates down,  
13 and it kind of didn't work so well in the past with  
14 regards to the AMF, the Market Funds, so right now  
15 there's the RPS OIR that's happening with the Cost  
16 Containment.

17 MR. TRACY: I would say the one thing that I  
18 definitely agree is that Cost Containment really starts  
19 when you set the policies. Once you've set the policies  
20 and you have to go out and procure the resources, all  
21 you're doing is molding the costs around, so that, you  
22 know, it's pretty difficult to kind of envision Cost  
23 Containment when all the costs have been incurred. You  
24 know, from SMUD's perspective, if we were looking at the  
25 individual consumer out there, and I see a premium that

1 we're paying for the renewable energy that we're buying  
2 is, you know, \$75 to \$80 million, and we're spending \$35  
3 million on energy efficiency, yet we're making more  
4 progress towards reducing customers' energy use through  
5 energy efficiency, what's a better deal for the customer?  
6 Well, it's clearly money spent on energy efficiency as  
7 opposed to the renewables. And you know, you have to  
8 decide what is the real policy goal -- 33 percent is not  
9 a policy goal, it's a way of getting to a policy of  
10 reducing carbon. And so you have to look at what are the  
11 real policy objectives and then give utilities more  
12 flexibility in determining how the most cost-effective  
13 way is of achieving those policy goals.

14 MS. LUKINS: Just to kind of add to his  
15 comments, kind of reiterating that if we look at all  
16 these demand-side programs and we actually count them  
17 towards reducing our need, I think that would help reduce  
18 costs because, right now, in the Long Term Procurement  
19 Proceeding at the Commission, that's what is being  
20 litigated, but what is considered reliable? What is the  
21 amount of energy efficiency that's going to be counted  
22 towards reducing demand? What is the CSI? You know,  
23 what is the distribute generation that would be counted  
24 towards reducing the need? So I think it's really  
25 important to make sure that that's accounted for, so we

1 are reducing what we really need, and that all these  
2 programs that are being subsidized are actually being  
3 accounted for.

4 MS. GRIFFIN: Lynette, is there anyone else on  
5 the Web?

6 MS. GREEN: There's no comments from the Web.  
7 I would like to open up the phone lines.

8 COMMISSIONER PETERMAN: I think there's one  
9 more comment in the room. Do you want to stand up, sir?  
10 And then if you want to open up the phone lines, great.

11 MR. SILSBEE: Thank you again. I'm Carl  
12 Silsbee from Southern California Edison. At the outset,  
13 let me thank the Commission and all the staff who have  
14 helped organize this series of workshops on Cost  
15 Containment issues. They're obviously very important  
16 things for us to worry about and I think the Panel 3  
17 discussion, talking about the distortionary impact of the  
18 tiers and residential rates, and the uneconomic bypass  
19 concerns that we face, and may face to an even greater  
20 extent if natural gas prices go up, and cause kind of the  
21 multiplier effect on the high rates to drive an imbalance  
22 between what Professor Borenstein called the "private  
23 cost vs. the social cost," or private benefits, I guess,  
24 vs. the social benefits of the solar programs, I think  
25 are very important.

1           Another element of the high rates issue is the  
2 effect on the California economy and, obviously, higher  
3 rates do have a negative influence on business  
4 competitiveness and jobs and economic growth. There was  
5 a study that was done for the Commission, I think it was  
6 in the 2007 IEPR that looked at the economic effects of  
7 the Self-Generation Incentive Program that was in, in  
8 some sense, the predecessor of the California Solar  
9 Initiative. And what that study found is that, although  
10 there was an increase in green jobs as a result, overall,  
11 SGIP reduced jobs, so you had higher income green jobs,  
12 but you also had a lowering of economic activity because  
13 you were taking money away from customers that would  
14 otherwise have been spent in businesses maybe that  
15 weren't green, but were nevertheless jobs in California,  
16 so we need to be mindful, and I don't want this to be an  
17 environment vs. economy debate, but we need to be smart,  
18 not stupid, in how we implement some of the policies that  
19 we're trying to effectuate at this Commission and its  
20 sister agencies.

21           I'd like to offer for your consideration four  
22 Cost Containment strategies, or principles, first, we  
23 need to think through the consequences before hitting the  
24 accelerator pedal. I think we've had discussion at some  
25 of the prior workshops about the interconnection

1 challenges we're facing, and I think we're moving to get  
2 it right, but for goodness case, we're in queue cluster  
3 5, so what happened to queue clusters 1 through 4? You  
4 know, we've let a lot of stuff go through the pipeline  
5 before really working out the kinks in the process.

6           Similarly, we're now starting to grapple with  
7 the issues of resource flexibility and, of course, it's  
8 been at the California Public Utilities Commission that  
9 has had to deal with the issue of potential shutdown of  
10 Sutter, but it's just an example of getting a little bit  
11 ahead of the curve and really having so much RA  
12 accounting for renewable resources that is starting to  
13 crowd out the very resources that are needed to manage  
14 the grid flexibly.

15           Second principle would be, let's favor  
16 competition where possible. We'd like to have markets do  
17 the hard work of finding low cost solutions, and  
18 encouraging competitive forces to engage in market  
19 transformation. Third, let's open competition as widely  
20 as possible by encouraging technology neutral rules by  
21 designing broad programs and by removing artificial  
22 barriers to entry. So one of our panelists earlier today  
23 talked about the proliferation of renewables programs,  
24 and what that does is it creates the opportunity for  
25 people to cherry pick the one that has the best price for

1    them, well, that's not necessarily supportive of  
2    competitive market solutions.  The panel today in Panel 3  
3    discussed some of the issues of where do we want the  
4    renewables to be built -- is it on the rooftops?  Is it  
5    central station renewable development?  What is the most  
6    economic choice for the state?  And I realize those are  
7    difficult choices because, to some degree, at least in  
8    our service territory, urban development solves problems  
9    that rural development doesn't, but a lot of times the  
10   rural development creates significant cost consequences  
11   for transmission.

12                   And then finally, let's charge costs to the  
13   cost causers, and this is probably the area where this  
14   Commission can have the most influence on State policy  
15   going forward, and these are critically important things.  
16   We've heard a lot about the effect of distorted retail  
17   residential rates, and how that can create bad outcomes.  
18   Those same principals apply on the wholesale side of the  
19   market, as well.  And we argued very strongly and, so  
20   far, unsuccessfully, in charging the cost of renewable  
21   intermittency to the generators who are causing that  
22   intermittency, rather than charging them directly to  
23   load, which then socializes the cost of the  
24   intermittency.

25                   A couple observations that have come up today,

1 Commissioner Peterman talked about improved forecasting,  
2 and, yes, improved forecasting is important, it reduces  
3 the ancillary services that the CAISO needs to purchase  
4 in the market to handle some of the intermittency. But  
5 right now, the cost of intermittency are socialized, so  
6 it becomes more of a public policy thrust to try to find  
7 improved forecasting; if those costs were imposed on the  
8 generators, there would be strong commercial pressure to  
9 improve forecasts. And the generators would presumably  
10 compete to do a better job because there would be money  
11 on the bottom line from them doing forecasting. And I  
12 think the forces of competition there are going to get it  
13 right with a lot greater certainty than us trying to do  
14 it in a regulated environment.

15 Commissioner McAllister mentioned something  
16 very interesting about trying to link up demand response  
17 with distributed generation, and trying to coordinate so  
18 that, if the distributed generation isn't available, the  
19 customer drops load. We actually already have a tariff  
20 that does that, essentially, that came out of the  
21 distributed generation OIR about eight or 10 years ago,  
22 and it's called the Physical Assurance Tariff, and the  
23 idea is, if you have a distributed generator, and the  
24 distributed generator drops, then the customer will get  
25 all of their stand-by charges, will be allowed to waive



1 their standby charges if they drop the customers' load  
2 when the generator drops, so that they're not putting  
3 that load back on the distribution circuit. Now,  
4 unfortunately, NEM is essentially a free ride on those  
5 distribution costs, so if you have NEM, the customer is  
6 getting a per kilowatt hour reduction of the costs of the  
7 interconnection, the delivery. And so there's no  
8 incentive for a customer to play the game of reducing  
9 their load to get costs waived if the costs are already  
10 waived, without giving the value of the load drop. So,  
11 anyway, that covers my comments. Thank you very much for  
12 the opportunity to address you.

13 COMMISSIONER PETERMAN: Thank you. And thank  
14 you for attending so many of our workshops. We'll say it  
15 at the end, but you might be interested in our workshop  
16 next week on renewables and in-state jobs, and economic  
17 benefits, and we want to look at overall economic  
18 impacts. So if you're able to listen, or just write your  
19 comments afterwards, always appreciate it.

20 MR. SILSBEE: Thank you for the invitation.

21 DR. BORENSTEIN: I just wanted to add one thing  
22 to what Carl said on the cost of intermittency. I teach  
23 at the Haas School of Business, and I have a number of  
24 students who are working in trying to start, or working  
25 at renewable start-ups, and I recently had a student come

1 to me with the technology that he's working on, on  
2 batteries and storage, and he was talking about the  
3 valuation of it, and was complaining about exactly what  
4 Carl mentioned, which is that the cost of intermittency  
5 being socialized actually discourages innovation in  
6 storage because his company has a technology that works  
7 at Price X, but in order to incentivize renewables, the  
8 ISO doesn't impose that cost on the actual generator, and  
9 so the generator had no interest in actually adopting  
10 something that would help them solve this problem.

11 They're making intermittency too cheap, and therefore  
12 making these solutions to the intermittency uneconomic.

13 COMMISSIONER MCALLISTER: I actually have a  
14 question for the utilities. So presumably, then, if it's  
15 not on the generator to pay that cost, then the utility,  
16 I mean, a lot of this discussion about what's being  
17 dropped here and what's not being treated in the  
18 structures that we have is, okay, who is going to fit the  
19 bill for this, for the grid services that are needed if  
20 it's not on any particular -- you know, if it's not on  
21 the generator, per se? And if there are not clear  
22 signals to the customer that they need to do this either?  
23 So what is the utilities' sort of calculus as to, rather  
24 than having that storage located at the generator to  
25 shore up their intermittency, actually having the utility

1 incorporate it into -- presumably into the rate base, and  
2 make the decision sort of system-wide, based on analysis  
3 of where storage might go in the utility system, sort of  
4 what are the various places where that cost could reside  
5 and somehow be recovered?

6 MR. BRILL: Well, it's kind of similar to the  
7 retail issue I mentioned earlier. When we give  
8 integration services for free to a generator, they don't  
9 care how much integration costs, they'll site wherever  
10 it's best for them, and so that maximizes the upward  
11 impact on costs and rates for us. It's exactly the same  
12 as in the retail setting when you give reliability  
13 services for free, that customer would never consider  
14 buying a battery. And it's the same thing giving var  
15 support, or power quality support, that customer would  
16 never consider a Smart Inverter, rather than a dumb  
17 Inverter. If we don't have accurate unbundled price  
18 signals, we will not have economic efficiency and we will  
19 be spending way too much as a state.

20 COMMISSIONER MCALLISTER: Okay, so I totally  
21 understand that point, and that's kind of why I asked, I  
22 guess, so what are the efficiency arguments? Or how can  
23 we keep costs down and create the right incentives at the  
24 right place? But let's say, you know, you now feel you  
25 have to step in SDG&E, or any of the other IOUs have to

1 step in and sort of say, "Okay, we need to install  
2 storage, or some other -- or back-up, or whatever," you  
3 know, your process for doing that presumably is going to  
4 the PUC and saying, "Hey, this now needs to be part of  
5 our Investment Plan and we need you to approve upgrades  
6 that allow us to recover that cost." Now, is that a  
7 realistic path for you? I mean, is that what you've been  
8 doing now? Or do you know --

9 MR. BRILL: Yeah, we put about \$54 or \$57  
10 million in our CPUC General Rate case for electricity  
11 storage for distributed renewable integration and, of  
12 course, at FERC, you're talking about policy driven  
13 transmission projects for the ISO, and so that's a  
14 different regime.

15 COMMISSIONER MCALLISTER: Okay, so this isn't  
16 just a matter of like, "Okay, we need to do this now,  
17 we're going to go ask for the money," you actually --  
18 this takes years to get through the process, right? And  
19 so -- go ahead.

20 COMMISSIONER PETERMAN: Most of, I mean, the  
21 highlights, we've talked about these issues and some  
22 other ones where there are decisions that need to be made  
23 very soon, even though we say it, there might not be the  
24 need for, say, as much integration in the next couple  
25 years in order to get recovery, the rulemaking done, and

1 will take a few years, anyway. Valerie.

2 MS. WINN: Yeah, Valerie Winn for PG&E. Just  
3 on the issue of storage, I mean, PG&E has been looking at  
4 really what are the cost-effective ways to integrate more  
5 renewables, and storage is one of those, but also adding  
6 other operationally flexible resources to the system, you  
7 know, is another element that we're looking at. But what  
8 we think is really important is developing the  
9 marketplace so that they are sending the right signals  
10 for the services that those integration measures offer,  
11 whether it's if you want fast ramping, that there needs  
12 to be a change to the ISO tariff to actually reward those  
13 attributes in the marketplace. And without those, you,  
14 you know, the things may not develop as quickly as one  
15 likes. Whether the utility is going to do some of these  
16 things themselves, you know, that's really a big question  
17 mark.

18 PG&E had proposed to look at another pump  
19 storage facility and to do some feasibility studies and  
20 we were unable to get funding to do that work from the  
21 CPUC, so that project has been put on hold. So we have  
22 seen a variety of issues developing at the CPUC, and  
23 whether they really want the utilities to be in the  
24 ownership business of generation and storage, and I think  
25 that's a big question mark that we still need to address.

1                   COMMISSIONER PETERMAN: I think that's a good  
2 point. I'm interested in seeing how the storage  
3 proceeding pans out there. Jim?

4                   MR. TRACY: Yeah, just a slightly different  
5 procedure with SMUD having an elected Board, but in our  
6 plan, we're looking at much the same alternatives. As I  
7 said, we have a pump storage facility that we're looking  
8 at. We're looking at testing compressed air storage, and  
9 other very flexible natural gas generation. What it  
10 comes down to is, you know, and just to put it in  
11 perspective, we have about a \$3 billion asset base as a  
12 utility, and whichever one we choose, it's probably going  
13 to be in the range of \$400 to \$600 million is what we'll  
14 have to spend capital-wise to put in one or a combination  
15 of those types of facilities, in order to manage the 33  
16 percent that we see coming down the line.

17                  COMMISSIONER PETERMAN: Yeah, as we turn to  
18 Severin, I'll just make a plug again for the research  
19 programs that the Energy Commission has been engaged in  
20 over the last number of years because, I mean, one of the  
21 things that PIER has done is to provide grants and  
22 funding for looking at storage options, particularly  
23 looking at them in different situations, as well as  
24 demonstration, because there's no one-size-fits-all model  
25 in terms of making those costs go down. I know SMUD has

1 participated in one of those projects, and so I  
2 appreciate that, as well as PG&E. Severin.

3 DR. BORENSTEIN: So I just wanted to throw out  
4 a quick historical note, having worked on this since the  
5 late '80s, that what the source of this problem -- I  
6 think Tom really put his finger on -- which is, as we  
7 unbundled more and more, the potential for creating costs  
8 for the system that somebody else has to bear becomes  
9 greater and greater. And everything we've talked about,  
10 whether it's solar PV, or storage, or whatever, these  
11 would not be problems -- they're a different set of  
12 problems -- under a fully integrated utility because all  
13 of that was happening inside the firm, whether it was  
14 building new transmission lines to balance the costs of  
15 different generators, or worrying about intermittency, if  
16 all of those costs are within a system that is centrally  
17 controlled by one firm, you don't have that.

18 Now, there are supposed to be other upsides,  
19 and I think there are, to unbundling, and to particularly  
20 wholesale competition, but pretending that it's not  
21 creating these other spillovers and that we can ignore  
22 that because the market will take care of it when there's  
23 no market mechanism to take care of it, really doesn't  
24 work. And we need to, I think, be more cognizant of all  
25 of the spillovers that occur, and the need to price them

1 appropriately.

2 COMMISSIONER PETERMAN: Thank you. Lynn,  
3 anyone on the phones?

4 MS. GREEN: Yes, for those who have been  
5 waiting patiently on the phone, we're now going to open  
6 up your lines.

7 COMMISSIONER PETERMAN: Since we're getting  
8 close to the time for your panel responses to be succinct  
9 and brief, but of course, well thought out and  
10 comprehensive.

11 [Laughter]

12 MS. GREEN: All right, your phone lines are  
13 open now. It sounds like we don't have any.

14 COMMISSIONER PETERMAN: Go ahead, Tamara.  
15 Hello, Tamara? Nope? Mavis, do you have a comment?

16 MAVIS: No, I don't have any comments, thank  
17 you.

18 MS. GREEN: All right. Thank you. Is there  
19 someone on the phone?

20 COMMISSIONER PETERMAN: All right. Oh, that's  
21 me, it's like a cat chasing -- a dog chasing its tail, if  
22 you will, who is on the line, who is on the line? I'm on  
23 the line. Okay, any other questions in the room? Do the  
24 Panelists -- oh, one more, and then I'll ask if the  
25 panelists also have any final questions for each other,



1 or any final comments before we wrap up.

2 MS. WINN: Actually, not really a comment, but  
3 more of a question. Our comments are due one week from  
4 today, the day after the long Memorial Day weekend, and  
5 I'm wondering if it might be possible to get a few more  
6 days for our comments?

7 COMMISSIONER PETERMAN: Let's give you another  
8 week for them.

9 MS. WINN: Thank you very much. I very much  
10 appreciate that.

11 COMMISSIONER PETERMAN: I don't get to make  
12 many decisions unilaterally, I'm looking at staff to see  
13 if that's allowed. But why not?

14 [Laughter]

15 Thanks. Enjoy your long weekend. Anything from our  
16 panelists on the phone?

17 MS. GREEN: Stephanie or Russell, if you have  
18 any last minute or --

19 COMMISSIONER PETERMAN: Final comments?

20 MS. GREEN: -- comments, questions?

21 MR. GARWACKI: This is Russ Garwacki, just  
22 thank you for the opportunity to participate. I think it  
23 was worthwhile. Appreciate it.

24 MS. CHEN: And this is Stephanie. I would just  
25 echo what Russ said, I think it was a great conversation

1 and thanks for the opportunity to chime in.

2 COMMISSIONER PETERMAN: Thanks. I'm glad you  
3 both found it worthwhile because, Stephanie, as you  
4 pointed out, we're making policy for people outside of  
5 this room, but we are the ones making the policy,  
6 nonetheless. And so I'm glad -- I find these workshops  
7 incredibly valuable just in terms of getting different  
8 people together, getting this conversation going, having  
9 information on the record. I look forward to all of your  
10 comments and the recommendations to follow. I want to  
11 thank, in particular, Karen Griffin who was the Moderator  
12 for this panel, who was very helpful in terms of  
13 structuring the questions and keeping this discussion  
14 moving, thank you for your engagement, as well as the  
15 staff, and to all the panelists. So if there are no  
16 further comments, and I'll pause to see, okay, and also  
17 just let me take a moment and thank Commissioner  
18 McAllister for joining me on the dais, I know he's had a  
19 busy day and I appreciated his questions and his  
20 engagement.

21 So with that, thank you very much. We are  
22 adjourned.

23 (Adjourned at 4:42 P.M.)

24

25