

BEFORE THE
CALIFORNIA ENERGY COMMISSION

California Energy Commission DOCKETED 12-IEP-1D
TN # 2855 JUL 11 2012

In the Matter of,)
) Docket No. 12-IEP-1D
IEPR Lead Commissioner Workshop)
Transition to a Clean Economy)

**Lead Commissioner Workshop on Renewable Research and
Development, American Recovery and Reinvestment Act, And
Financing**

CALIFORNIA ENERGY COMMISSION

HEARING ROOM A

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

WEDNESDAY, JUNE 6, 2012

9:04 A.M.

Reported by:
Kent Odell

Commissioners Present:

Robert Weisenmiller
Carla Peterman

Commission Staff Present:

Jim Bartridge
Larry Rillera
Suzanne Korosec
Rizaldo Aldas
Felicia Miller

Also Present (*on phone/WebEx):

Panelists

Panel 1: Renewable Technologies on the Horizon

Lew Milford
George Simons
William Glassley
Jack Brouwer
Mirko Previsic
Lon House
Bryan Hannegan

Panel 2: Financing - Investors Panel

*John Marciano III
Deana Carillo
Roma Cristia-Plant
*Seth Miller
*Dan Adler

Panel 3: American Recovery and Reinvestment Act projects:
status and next steps

Keely Wachs
Scott Busa
Scott Galati
Randy Hoyle
Hunter Armistead
Chris Ellison

Case Studies of Project Development:

Ashley Fabrizio

Also Present:

Jesse Jones

*Paul Frankel

Michael Day

*Lisa Malin

Valerie Winn

Amy Nabel

Anita Ladher

Bartek Sudol

Andre Lee

I N D E X

	Page
Introduction and Opening Comments	7
Suzanne Korosec, IEPR Lead	
Staff Presentation	9
Suzanne Korosec, IEPR Lead	
Panel 1:	21
Renewable Technologies on the Horizon	
Moderator: Rizaldo Aldas, Energy Commission staff	
Presentation: Lew Milford, Clean Energy Group	
George Simons, Director of Renewable and Distributed Generation Consulting Services, ITRON	
William Glassley, Executive Director of the California Geothermal Energy Collaborative, UC Davis	
Jack Brouwer, Associate Director of the National Fuel Cell Research Center in UC Irvine and Professor, UC Irvine	
Mirko Previsic, Principal, RE Vision Consulting, LLC	
Lon W. House, Co---director of the California Small Hydro Collaborative, UC Davis	
Bryan Hannegan, Vice President, Environment and Renewables for the Electric Power Research Institute (EPRI)	
Lew Milford, Clean Energy Group, Clean Energy States Alliance Founder and President	
Public Comments	104

I N D E X

Page

Panel 2: Financing - Investors Panel **114**

Moderator: Larry Rillera, Energy Commission staff

Panelists:

John Marciano III, Associate, Chadbourne and Parke, LLP

Deana Carillo, Treasury Program Manager, California

Alternative Energy and Advanced Transportation Financing
Authority (CAEATFA)

Roma Cristia-Plant, Assistance Executive Director

(I-Bank)

Jesse Jones, Chief Executive Officer, CleanPath

Dan Adler, California Clean Energy Fund

Seth Miller, DBL Investors

Public Comments **175**

**Panel 3: American Recovery and Reinvestment Act projects:
Status and next steps** **185**

Moderator: Felicia Miller, Energy Commission staff

Presentation: Felicia Miller, Energy Commission staff

Panelists:

Keely Wachs, Senior Director of Corporate Communications,
BrightSource

Scott Busa, Director, Business Development, NextEra

Scott Galati, Partner, Galati/Blek LLP

Randy Hoyle, Senior VP, Wind & Solar Development, TerraGen
Energy

Hunter Armistead, Executive Director, Pattern Energy

Chris Ellison, Ellison, Schneider & Harris LLP

Case Studies of Project Development **251**

Presentation: Ashley Fabrizio, Executive Fellow to Ana
Matosantos, Director of Finance

I N D E X

	Page
Closing Remarks	281
Adjournment	283
Certificate of Reporter	284

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

JUNE 6, 2012 9:04 a.m.

CHAIRMAN WEISENMILLER: Good morning. Ready to start?

MS. KOROSSEC: Good morning, everyone. I'm Suzanne Korosec. I manage the Energy Commission's Integrated Energy Policy Report unit.

Welcome to today's Workshop on Renewable Research and Development American Recovery and Reinvestment Act and Financing.

A few quick housekeeping items before we begin. Restrooms are in the atrium, out the double doors and to your left. We have a snack shop on the second floor at the top of the atrium stairs under the white awning. And if there's an emergency and we need to evacuate the building please following the staff outside to Roosevelt Park, which is diagonal to the building, and wait there until we're told that it's safe to return.

Today's Workshop is being broadcast through our WebEx conferencing system and parties do need to be aware that you are being recorded. We'll make an audio recording available on our website in about a week and a written transcript will be available on the website in about two weeks.

We'll have three opportunities for public

1 comment today. One before lunch, one after our second
2 panel in the afternoon and one at the end of the day.
3 During the comment periods, we'll take comments first from
4 those of you in the room followed by those participating
5 by WebEx and finally those who are phone in only. For
6 those of you in the room, when you're making comments or
7 asking questions please come up to the podium in the
8 center of the room and use the microphone so that the
9 people on WebEx can hear you. It's also helpful if you
10 can give our Court Reporter a business card when you come
11 up to speak so that we can make sure that your name and
12 affiliation are reflected correctly in the transcript. For
13 WebEx participants you can use either the chat or raise
14 hand functions to let our coordinator know that you'd like
15 to comment or have a question and we'll either relay your
16 comment or open your line at the appropriate time.

17 We're also accepting written comments until
18 close of business on June 13. And the Notice for today's
19 Workshop, which is available on the table in the foyer and
20 also posted on our website, describes the process for
21 submitting comments to the IEPR Docket.

22 So, with that, I'll turn it over to the Chair
23 for opening remarks.

24 CHAIRMAN WEISENMILLER: Thank you for your
25 participation today. This is one of our series of

1 Workshops on this IEPR following up on last year's IEPR to
2 look at very specific topics in the area of renewables.
3 In particular today, we're looking at two things. One is
4 the wall of research and development to basically resolve
5 issues and move renewables forward and also to touch base
6 on where we are on some of the ARRA projects and finally
7 look at financing.

8 Jim, any comments?

9 MR. BARTRIDGE: Good morning. Commissioner
10 Peterman can't attend as of this moment. She'll join us
11 later but sends her regards and welcomes you all. Thank
12 you for participating in today's Workshop.

13 MS. KOROSSEC: Thank you. All right. Every two
14 years the Energy Commission prepares an Integrated Energy
15 Policy Report, or IEPR, that covers a variety of energy
16 topics and provides policy recommendations to the Governor
17 with an update prepared in the off years.

18 In 2010 Governor Brown directed the Energy
19 Commission to prepare a plan to expedite the permitting of
20 priority renewable generation and transmission projects.
21 To provide the foundation for that plan, the Energy
22 Commission developed the Renewable Power in California
23 Status and Issues Report as part of the 2011 IEPR, which
24 described the status of renewable development in
25 California, challenges to future renewable development and

1 efforts to address those challenges. The report also
2 established five high-level strategies as the basis for a
3 more comprehensive, renewable strategic plan that's being
4 developed under the 2012 IEPR Update Proceeding.

5 Today's Workshop is the sixth of seven Workshops
6 on topics related to those five strategies. And the
7 discussions and input from the Workshops will be used to
8 develop specific near term actions that the State needs to
9 take to begin addressing some of the challenges that were
10 identified in the Renewable Report.

11 The fifth strategy that was identified in the
12 Renewable Report is to ensure adequate financing and
13 incentives at critical stages of renewable development and
14 to maximize the use of federal stimulus funding by
15 prioritizing development of renewable that are vying for
16 those funds.

17 Our agenda today begins with a panel looking at
18 Emerging Renewable Technologies that are either not
19 commercially available or at a very early stage of
20 commercialization but that could still contribute to the
21 33 percent renewable portfolio standard. The panel will
22 be followed by an opportunity for public comment and then
23 we'll break for lunch around 11:30. Our second panel
24 after lunch will discuss the current status of project
25 finance, creative ways to provide financing and capital

1 and potential strategies to respond to the expiration of
2 federal investment support mechanisms like treasury cash
3 grants and loan guarantees.

4 We'll then have another opportunity for Public
5 Comment followed by a short break mid-afternoon and then
6 move to our final panel on the status projects that
7 receive funding through the American Recovery and
8 Reinvestment Act and discuss the barriers they may be
9 facing and what activities are needed to facilitate
10 development of large scale renewable projects. After the
11 final panel we'll finish with a presentation on a research
12 project that was done by a group of Executive Fellows on
13 barriers associated with distributed generation
14 development. We'll then have one final opportunity for
15 Public Comment and we hope to adjourn around five o'clock.

16 Before we get into our panels, I'll provide
17 brief background information on today's topics that was
18 presented in the Renewable Status and Issues Report. The
19 Report covered challenges associated with investment and
20 financing at various stages of renewable development and
21 also provided an overview of research development and
22 demonstration projects that have been funded by the Energy
23 Commission's Public Interest Energy Research Program that
24 support renewables in California.

25 This figure from the Renewable Report shows the

1 five stages in the successful development of renewable
2 technology and sources of financing at each stage, with
3 the primary financing gaps occurring at the research and
4 development and commercial stages of project development.
5 The R&D phase generates ideas, tests intellectual property
6 and, given high failure rates, is a high risk stage for
7 potential investors. That's followed by the demonstration
8 and proof of concept stage, which builds the company,
9 designs and tests prototypes and demonstrates the
10 feasibility of an idea or technology. At the pilot stage,
11 the technology moves from the lab to the field where data
12 and results are quantified to improve the prototype and to
13 provide technical information to investors.

14 Next, the early commercial phase allows
15 companies to demonstrate the viability of its technology
16 at scale. And, finally, commercial maturity is widespread
17 adoption of the technology.

18 For the financing gap for R&D, the Report noted
19 that in the U.S., although overall R&D has grown annually
20 by six percent, in 2010 investment in energy-related R&D
21 was about \$1 billion less than a decade ago. In 2010, the
22 International Energy Agency estimated that globally solar
23 and wind technologies face an R&D shortfall of between \$2
24 and \$6 billion. The private sector's share of energy R&D
25 investment has also declined from nearly half the 1980's

1 and '90s to around 24 percent today, with total private
2 sector energy R&D actually less than the R&D budgets of a
3 few large biotech companies.

4 One reason for this underinvestment is that
5 private companies tend not to invest in the level of R&D
6 that's most beneficial to society because they can't
7 monetize all the public benefits and spillovers of their
8 R&D. For clean energy technologies, there's often
9 underinvestments because the non-energy benefits of those
10 technologies haven't been adequately valued in the market.
11 Plus, because renewable technologies are relatively new
12 compared to fossil fuel technologies investors may require
13 a larger return to address the uncertainties about the
14 potential of the technology.

15 On the positive side, venture capital
16 investments continue to increase, with national
17 investments in cleantech companies in 2010 at nearly \$4
18 billion and investments of more than \$1 billion in the
19 first quarter of 2011 alone.

20 California accounts for more than half of
21 national venture capital investments. Partly due to the
22 number of venture hubs in the state like Silicon Valley in
23 the north and San Diego in the south and partly due to
24 California's policy and business environment being so
25 supportive of innovative technologies. Given the

1 underinvestment in the private sector – or by the private
2 sector, excuse me – everyone plays a pivotal role in
3 funding R&D. The federal government is a primary source
4 of funding basic research across all sectors with the
5 second largest source being academic institutions.
6 California funds research primarily through state and
7 private universities and through the Public Interest
8 Energy Research Program.

9 The second funding gap is at the early
10 commercial stage, which is defined as one of the first 3-5
11 deployments at a scale that generates revenue and is
12 consistent with the company’s long-term rollout plan.

13 Significant capital is needed at this stage to
14 demonstrate the viability of a technology at scale and to
15 prove that manufacturing or power generation can be done
16 economically. At the early commercial stage firms have
17 traditionally used private equity, debt and tax equity
18 markets to provide financing. But since the financial
19 crisis these options are either impractical, given the
20 economic conditions. They depend on government incentives
21 to function well or they don’t provide sufficient returns
22 for investors.

23 Other things like power purchase agreements,
24 feed-in tariffs and the availability of incentives can
25 affect the financing the renewable projects. The power

1 purchase agreements provide greater certainty for project
2 revenues and are critical in addressing the early
3 commercial financing gaps, especially for large commercial
4 projects. Feed-in tariffs provide a guaranteed payment
5 for electricity and a stable long-term contract, and the
6 predictability of feed-in tariffs attracts investors.
7 Globally, this is the most widely implemented policy for
8 accelerating renewables and, in fact, it accounts for a
9 greater share of renewable development than either tax
10 incentives or RPS policies.

11 California has also used financial incentives to
12 promote development of renewables, particularly
13 distributed generation, including the California Solar
14 Initiative, the Emerging Renewables Program, the new Solar
15 Homes Partnership, the Self-Generation and Incentive
16 Program and energy metered.

17 Efforts to address financing challenges for
18 utility scale renewable development include, on the
19 research side, investments at the national level by
20 government laboratories at the Department of Energy and at
21 the state level by state and private universities and the
22 Public Interest Energy Research Program. The UC System
23 received more than \$4 billion in total research funding in
24 the fiscal year 2009-2010 and has produced more patents
25 than any other university in the nation. The university

1 system also contributes to technology transfer and to the
2 overall development of the state's expertise in renewable
3 generation technologies.

4 The Energy Commission's PIER program has
5 provided roughly \$170 million in R&D funding for a variety
6 of activities that are in support of California's
7 renewable goals, including mitigating environmental
8 impacts, enhancing transmission distribution grid
9 reliability, promoting renewable integration and improving
10 renewable technology performance and costs. About 10
11 percent of that funding has been for basic research, about
12 30 percent for technology development and more than half
13 the technology demonstrations. PIER has also provided
14 seed funding for technology incubators and cost-share for
15 workforce development activities for renewables, and was
16 also instrumental in leveraging more than \$500 million in
17 federal stimulus funding and \$900 in private investment
18 funding using only \$20 million in program funds.

19 The Renewable Report discussed the expiration of
20 the funding authorization for the PIER Program at the end
21 of 2011 and the uncertainty that was created by that
22 expiration. At about the time that the Renewable Report
23 was released in December 2011, the PUC had created the
24 Electric Program Investment Charge, or EPIC, to continue
25 funding for the expiring Funding Goods Charge through

1 2020. The PUC's May 2012 decision on the EPIC funds
2 established funding of \$162 million annually, which will
3 be administered 80 percent by the Energy Commission for –
4 excuse me, for R&D and for market facilitation and 20
5 percent by the utilities for technology demonstration and
6 appointment. All funds are administered under the
7 authority of the CPUC who will hold a proceeding every
8 three years to consider detailed investment plans
9 presented by the administrators.

10 Other strategies include targeted programs to
11 help offset the high initial capital costs of renewables
12 including tax incentives or subsidies including the
13 Federal Business Energy Investment Tax Credit and the
14 Renewable Electricity Tax Credit. Under the American
15 Recovery and Reinvestment Act, the ITC could be converted
16 to a cash grant to offset as much as 30 percent of project
17 cost. As of October 2010, more than 300 California
18 projects had been awarded more than \$490 million in cash
19 grants.

20 The PTC provides incentives for electricity
21 generation and a U.S. Energy Information Administration
22 analysis in 2005 indicated that if the PTC were extended
23 through 2015 it would increase installed wind capacity by
24 580 percent, biomass by 65 percent and geothermal by 20
25 percent. However, the PTC for wind is slated to expire in

1 2012. In fact at our Workshop last week on jobs and
2 economic development a panelist from the wind industry
3 mentioned that in recognition of the climate in Washington
4 D.C. for the first time the American Wind Energy
5 Association has introduced the concept of a PTC that
6 declines over time, although it's unclear how much
7 traction that proposal is going to get.

8 There's also accelerated depreciation to help
9 provide capital at the front end of a project but the
10 expiration date for 100 percent bonus depreciation was
11 December 31 of this year – excuse me, last year and the
12 expiration date for the 50 percent depreciation is
13 December 31 of this year.

14 The Department of Energy's Loan Guarantee
15 Programs have also supported clean energy technologies by
16 underwriting loans to protect investors from the risk of
17 default. At the time the Renewable Report was published,
18 nine California companies had taken advantage of the Loan
19 Guarantee Program, which ended in September of 2011, for a
20 total value of more than \$11 billion.

21 Also at last week's Workshop, one of the
22 Panelists referenced a recent Brookings Institute Report
23 that shows a 75 percent decline in federal cleantech
24 spending from a high in 2009 to projected levels in 2014
25 if there's no Congressional action to continue federal tax

1 credits, grants and loan guarantees, which suggests that
2 we'll need to start looking at different sources of
3 capital that don't rely on federal support.

4 Bonds can also be used to finance projects. As
5 of the date when the Renewables Report was released,
6 California has issued about \$640 million through the
7 Federal Clean and Renewable Energy Bonds Program and \$381
8 million through the Federal Qualified Energy Conservation
9 Bonds Program. There are also state and local entities
10 that issue bonds, including the California Alternative
11 Energy and Advanced Transportation Financing Authority,
12 the California Alternative Energy and Advanced
13 Transportation Financing Authority, the California
14 Infrastructure and Economic Development Bank and local
15 municipalities.

16 One of the participants in last week's Workshop
17 stated that, "If you put a dollar value to the PTC and the
18 ITC in 2011 it was about \$7 billion but if you look at
19 municipal bond financing, just in the first three months
20 of 2012, there was \$80 billion available nationwide." So
21 there's a need for the renewable industry to figure out
22 how to take advantage of these funding sources.

23 On the DG side, efforts to address financing
24 challenges include leases, in which an outside company
25 rents the DG system to a customer and takes care of the

1 maintenance with monthly payments less than or equal to
2 the energy savings. Power purchase agreements where the
3 consumer purchases the electricity generated by the system
4 from the company rather than renting the equipment even
5 though the DG system may be located on the customer's
6 property; the property assessed clean energy, or PACE
7 Program, which was halted in the residential sector in
8 July 2010 because of changes in lending policies for
9 federally backed mortgages. However, the Renewable Report
10 notes that commercial PACE programs are active in Placer
11 and Sonoma counties and in Berkeley, Fresno, Los Angeles
12 and the Palm Desert. And though this is a relatively new
13 concept and not yet proven feasible, property tax
14 assessments by the city or county can provide funding for
15 property owners to install DG systems with the initial
16 investment financed through bonds or from the general fund
17 and paid back through a property tax.

18 And, finally, though not yet widely implemented
19 on-bill financing programs have the opportunity to
20 increase access to affordable capital for the installation
21 of renewable energy systems.

22 So that's a very brief overview of the
23 information that was in the Renewable Status and Issues
24 Report that relates to today's topics. Before we move on,
25 I just want to mention two comments that were made at last

1 week's Workshop that relate to today.

2 First, it's important to remember that the
3 renewable industry is a relatively immature industry,
4 relatively 20 years or so, and it's up against the fossil
5 fuel industry that's been around for 120 years. Our
6 challenge is to figure out how to turn this industry into
7 a serious economic development opportunity and to make
8 investing in renewables as commonplace as investing in
9 other infrastructure like roads or schools or bridges so
10 there's no question as to how to get financing.

11 Second, the state that figures out how to
12 develop policies to finance new technologies and bridge
13 the Valley of Death will gain a huge competitive advantage
14 and significant financial benefits.

15 So on that note, let's move to our first panel
16 on renewable technologies on the horizon and what needs to
17 happen to advance their development and deployment.

18 Our moderator is Rizaldo Aldas from the Energy
19 Commission's PIER Program. Rizaldo? And if our panelists
20 could come up to the table, please.

21 MR. ALDAS: Good morning. And, thank you,
22 Suzanne. We are slightly ahead of our schedule. We'll go
23 ahead.

24 My name is Rizaldo Aldas. I am the current lead
25 for Renewable Energy and Advanced Generation, Research and

1 Development with the Energy Research and Development
2 Division here at the Energy Commission.

3 Welcome. This is the first panel of the day.
4 It's on Renewable Technologies on the Horizon. This panel
5 will explore emerging and cutting edge renewable energy
6 technologies that are not currently commercially available
7 or are at the very early stage of commercialization but to
8 have the potential to achieve the 33 percent renewable for
9 renewable portfolio standard. A more diverse technology
10 portfolio provides a hedge against future known technology
11 market and regulatory changes to put the state in a
12 stronger position to meet its goals.

13 The goal of this panel is to identify such
14 technologies and recommend next steps to advance
15 development. There are a number of questions that need to
16 be addressed to move these advanced technologies and some
17 of these questions are shown on the screen. They are:
18 what are the roles of these technologies, what is the time
19 horizon for commercial development and what is the current
20 level of commercialization, what are the technology cost
21 projections and what financing strategies and government
22 support are currently available for these technologies and
23 are these strategies effective or what other policies and
24 incentives are needed to advance the commercialization of
25 these technologies?

1 I think the bottom line is what will it take to
2 commercialize these technologies and what are their roles
3 for meeting the RPS goals?

4 We have here a distinguished panel of experts
5 who will help us address those questions, and thank you so
6 much for accepting our invitation to be here. Some of the
7 discussion will focus on specific technology while others
8 will address the overall technology and policy picture of
9 clean renewable energy technologies. And, in addition to
10 the panel discussion, I will also encourage our public
11 participant stakeholders to also let us know your thoughts
12 and provide us with your comments about this topic.

13 The panel is going to be kicked off by a
14 presentation by Lew Milford but I think he's not here yet
15 so we will just go ahead and proceed with remarks from our
16 panel of experts. And when Lew is here we'll do his
17 presentation. I'm asking our panelists to limit their
18 remarks to 5 minutes so that we will have a lot of time
19 later on for discussion. So, with that, I will start with
20 George. By the way I will not introduce – I will not make
21 a lot of introductions and I will ask you to mention a
22 little bit about yourself for our audience. Thank you.

23 MR. SIMONS: Good morning, Commissioner. Good
24 morning. So – thank you, very much. So I'm going to be
25 talking about solar RD&D, some of the opportunities and

1 some of the challenges facing RD&R.

2 Suzanne mentioned earlier about getting to the
3 point where there's an investment that's equal to
4 renewables as far as fossil. At a global stage we're
5 already there. Most people don't recognize that the
6 investment in renewable energy in the private sector has
7 now begun to equal that invested in fossil.

8 In 2010, there was over \$210 billion invested in
9 renewables and about \$80 billion in the solar arena. And
10 one of the interesting things about that investment in
11 2010 is if you look at this chart, and I apologize. It's
12 somewhat hard to see the figures. But a vast number of
13 that investment was on smaller solar capacities,
14 distributed solar. And so the prospects for continued
15 solar investment and solar growth is tremendous.

16 If we look at the European community and
17 worldwide, they're anticipating that we're going to see
18 more than a doubling in capacity by 2017. And DOE, who
19 has brought together a number of experts in this arena,
20 expects we're going to see a tenfold increase in PV by
21 2030. Of course, they also expect a significant increase
22 in concentrated solar at the utility scale. And the PV
23 increases here are both the utility and customer side.

24 Well, in order to get to that level of
25 penetration, that kind of growth, of course there's going

1 to have to be some reductions in costs. Again, if you
2 look at the past 30 years of what's happened with the cost
3 of solar technologies, they've dropped pretty steadily. I
4 mean there's been some ups and downs due to some market
5 conditions and we're seeing some surplus capacity right
6 now but overall the trend has been downward. And we've
7 seen that even since 1998 prices have dropped almost in
8 half and DOE continues to expect that price drop to occur
9 and they're focusing the SunShot Initiative to try to get
10 a fourfold decrease in cost. And so what we're talking
11 about is if you look at some of the utility scale
12 applications in California that are going in right now,
13 we're seeing PV costs down below the \$4/watt right now
14 that DOE considers a reference case. We're seeing things
15 like \$3-\$3.50/watt. And, again, some of that will
16 translate over because the manufacturing types of
17 techniques over to the customer side. Particularly, we
18 now have customers that need something like a megawatt or
19 two megawatts on the rooftop.

20 So one of the questions that's asked is what
21 kind of role will renewables be playing in the future.
22 And because of the ubiquitous of solar in the marketplace
23 now we're expecting to see quite a variety of rules that
24 as we get expansion of solar, and particularly PV into the
25 marketplace. First off, there are 29 now, I think it's

1 more than 29 states, that have RPS goals and solar plays a
2 pivotal role in state's meeting their RPS goals. Within
3 California 50 percent of the RPS goals are going to be
4 perhaps contributing to the 33 target for 2020. And as we
5 expand out beyond the 33 percent goal we expect solar to
6 play a huge role.

7 Solar's also going to play a role in getting to
8 reduced greenhouse gas emissions, both in terms of solar
9 electric as well as some of the hybrid technologies. And
10 I'll talk about that in a second - that not only produce
11 electricity but also back off processing facilities.

12 And, lastly, we're seeing a growth in electric
13 and plug-in hybrid electric vehicles. We expect the
14 number of vehicles on the road right now, a little less
15 than 100,000, to be up nearly to a quarter of a billion
16 vehicles by the end of 2016 and solar is going to provide
17 a way to enable sustainable charging of those systems.

18 So as we start to think about the role that
19 these R&D technologies face in the future and what we need
20 to do to improve these technologies, ITRON manages the
21 California Solar Initiative RD&D Program, and one of the
22 things we focused on is what's going to happen, what has
23 to happen, with solar technologies as they begin to get
24 more integrated into the electricity grid.

25 We're now seeing that PV facilities on the

1 customer side are going to be exceeding 15 percent of the
2 penetration of peak loading on distribution feeders. It
3 poses huge questions on how do you not allow export. How
4 do you enable – how does PV going to enable a reliable
5 grid? And so you're going to have to begin looking at
6 things like better communication systems between PV
7 inverters and meters and how does that two way
8 communication work. States made a tremendous investment
9 in smart metering technology and that should be coupled
10 with these systems so that you can, in fact, enable that
11 two way communication.

12 We have to begin looking at – solar's not just a
13 standalone technology but, again, how does that integrate
14 in. So some of the other things that you'd be looking at
15 is how do you begin to look at optimal locations for
16 locating PV? How do you have resource type models that
17 help utilities understand the temporal and special nature
18 where the resources and how to tap into it? And some of
19 these are very refined models.

20 And you also have to look at how you're going to
21 integrate in solar technologies with other tools that
22 customer's need. There's going to be increased amounts of
23 energy efficiency in the future and demand response. And
24 so you have to begin to look at how to couple solar
25 technologies with those other types of tools that are

1 available to customers.

2 And with that I am happy to wrap up and let's
3 move on to the next speaker. Thank you.

4 MR. ALDAS: Let's move on to the next speaker.
5 Our next panelist is Bill Glassley. Thank you.

6 MR. GLASSLEY: Thank you and I want to thank you
7 for the opportunity to present on geothermal at this
8 meeting. My name is Bill Glassley. I'm the Director of
9 the California Geothermal Energy Collaborative.

10 What I would like to do is talk about two
11 aspects of geothermal that I think are relevant to the
12 topic at hand. One relates to the use of geothermal
13 energy as a heat source and using heat directly; a
14 technology that could be significant for the state meeting
15 its goals. And the other is power generation. I'll first
16 deal with the issue of heat as a resource for providing
17 HVAC services.

18 Geothermal heat pumps have been around for a
19 number of years. It's not new technology but its use for
20 the state of California in the sense that it's penetration
21 in the marketplace is very minimal.

22 One of the reasons that's been the case is that
23 geothermal heat pumps have been considered to be
24 inappropriate for the state of California by a number of
25 people simply because the climate in California is

1 relatively mild. The state of California consists of 16
2 climate zones and we were skeptical of the argument that
3 geothermal heat pumps really were not appropriate for this
4 state.

5 So with support from the California Energy
6 Commission we undertook a study of the 16 climate zones
7 modeling the use of geothermal heat pumps using standard
8 commercial software that's normally used for developing
9 designs for these systems.

10 What you see in this graph, excuse me, is a
11 summary of the results of that work. The vertical access
12 represents that amount of energy in kilowatt hours per
13 year that would be used to heat a model home, using
14 conventional HVAC systems, the horizontal access is the
15 amount of energy that would be used using geothermal heat
16 pump systems and anything that falls above the heavily
17 dashed line represents conditions in which energy is saved
18 if a geothermal heat pump system is used.

19 As you can see from the graph in 15 of the 16
20 climate zones there's significant energy savings. In
21 fact, on average for HVAC purposes, 44 percent energy
22 would be saved if geothermal heat pump penetration were
23 significant in the state. And, in fact, for that one
24 point that falls slightly off of the, essentially zero
25 return, that point would fall up above the curve, the zero

1 return curve, if new technologies that use advanced method
2 for heat transfer were used.

3 So, in essence, what we are saying is that
4 geothermal heat pump systems could provide a substantial
5 energy savings for the state of California and as a
6 result, although such applications do not directly
7 contribute to meeting RPS goals by diminishing energy
8 demand they increase the ability of the state to meet its
9 RPS standards.

10 The biggest difficulty in accomplishing
11 significant deployment for these systems in the state is
12 the upfront cost. The challenge of financing these
13 systems is difficult. And one of the things that needs to
14 be done is develop methods for providing incentives for
15 displacing the initial cost. A number of things have been
16 proposed: financing opportunities and options, tax
17 incentives for homeowners or commercial development.
18 Applications such as those could have a significant impact
19 in deploying these systems in the marketplace.

20 With respect to power generation, I want to talk
21 about three technologies that are in the process of being
22 developed and could have a dramatic impact on the state
23 being able to meet its RPS goals. Geothermal currently
24 provides a substantial contribution to the overall
25 renewable energy portfolio the state currently has.

1 Depending on the day and time – the time of day and day of
2 year, geothermal is providing anywhere from between 20 and
3 40 percent of the renewable energy the state is using.

4 Three technologies are currently being developed
5 that could dramatically enhance that. One is a hybrid
6 geothermal solar applications, whether it's solar thermal
7 or solar PV, doesn't matter but the concept is that a
8 geothermal plant would be co-located with high intensity
9 solar resources. There are a number of places in the
10 state where that's possible. Even in Los Angeles basin is
11 such a location.

12 Such hybrid systems improve the efficiency of
13 the overall combined technologies. They have seasonal
14 responsiveness that is difficult to achieve otherwise.
15 Thermo capacity has improved. They make much better,
16 more efficient use of transmission lines that either
17 currently exist or are planned. And, in general, they
18 would greatly diminish land use footprint. Those are some
19 of the advantages of such systems.

20 Another technology that could be developed using
21 geothermal power production capability relates to
22 distributed generation. Many communities around the state
23 have co-located geothermal resources with solar, wind
24 and/or biomass. The problem that most of these
25 communities have, however, is that they simply don't have

1 the expertise to optimize their application or development
2 of distributed generation.

3 One of the things that could be done or should
4 be done is to provide the capability for these communities
5 to have – to optimize their use of their local resources.

6 Finally, enhanced geothermal systems. Enhanced
7 geothermal systems represent situations in which
8 geothermal resources exist at depth but there's either
9 inadequate permeability or inadequate fluid to allow
10 generation to occur. However, major advances – the state
11 of California has huge resources with respect to
12 geothermal. U.S. Geological survey estimates that
13 somewhere between 32 gigawatts and 67 gigawatts are
14 available in this state to enhance geothermal.

15 Major advances have occurred in developing this
16 technology, particularly in improving fluid flow and
17 permeability but they're at the very, very early stages of
18 development.

19 Three things could be done to improve their
20 penetration and development of these technologies in the
21 marketplace. One is improving the efficiency of the
22 permitting process in the state of California. One of the
23 largest upfront costs that a project development faces for
24 geothermal, but I think it's also true for many renewable
25 energy resources, is the complex permitting process. For

1 a geothermal power plant it could take anywhere from 2-3
2 years, and that isn't necessary. It could be much more
3 efficient not to say it could be easy but there are ways
4 in which it could improve.

5 Second. Power purchase agreements that are
6 currently put in place, BPAs, tend to follow a certain
7 pattern and they tend to be relatively rigid in their
8 form. Flexibility in how those are developed and
9 structured could make a big in the ability to bring these
10 systems online in a cost-effective way.

11 And, finally, developing incentives that
12 encourage the use and development of hybrid or combined
13 technologies, I think, would have a dramatic impact on the
14 ability to develop both distributed generation but also
15 larger scale geothermal development.

16 Thanks.

17 CHAIRMAN WEISENMILLER: A couple of questions.
18 First, the heap up numbers are interesting, but could you
19 provide a table of the assumed usage per house and compare
20 that to our recent Title 24. The numbers look pretty
21 high, frankly.

22 MR. GLASSLEY: Absolutely.

23 CHAIRMAN WEISENMILLER: Another thing is on the
24 siting, frankly part of it is to encourage the geothermal
25 industry to apply to the Energy Commission, not to local

1 governments. We do things in a year.

2 MR. GLASSLEY: I understand that. The reality
3 is though that there are also local issues that have to be
4 addressed every time somebody tries to permit something.

5 CHAIRMAN WEISENMILLER: Right. And we do that
6 in our process. Most of the geothermal projects, as you
7 know, are 49 megawatts so they should learn that lesson.

8 MR. GRASSLEY: Okay.

9 CHAIRMAN WEISENMILLER: Bottom line. You're at
10 the Energy Commission and we did cite over 4 gigawatts for
11 the ARRA projects, not in geothermal.

12 MR. GLASSLEY: That's right. One of the—

13 CHAIRMAN WEISENMILLER: And some of them in nine
14 months.

15 MR. GLASSLEY: The issue with geothermal that I
16 think the state could address that would make a big
17 difference is that in addition to the Energy Commission
18 requirements to applications and permitting, there's also
19 a number of local issues that come up with drilling, road
20 development and things that are independent of what the
21 Energy Commission looks at and those issues are part of
22 the reason that the permitting process for geothermal
23 plants ends up being on the order of a couple of years.

24 CHAIRMAN WEISENMILLER: Right. Okay. Thanks.

25 MR. GLASSLEY: Thank you.

1 MR. ALDAS: Thank you. And next we will have
2 Jack Brouwer.

3 MR. BROUWER: Hello. My name is Jack Brouwer.
4 I'm the Associate Director of the National Fuel Cell
5 Research Center and a Professor at the University of
6 California - Irvine. I'm here to talk to you today about
7 the critical roles that fuel cells could play in a
8 sustainable and renewable future.

9 I believe fuel cells have a bunch of critical
10 roles that they could play. Some of which are described
11 on this slide.

12 They first offer one of the only technologies
13 that offer all of these features: very low to ultra low
14 criteria pollutant emission, high fuel to electricity fuel
15 conversancy and those features offered at the distributed
16 scale.

17 They also offer opportunities, of course, for
18 combined cooling, heating and power but also the poly
19 generation of fuels, such as hydrogen.

20 Fuel cells can produce continuous power and also
21 could be dispatched in a way that could complement the
22 otherwise intermittent renewable power and that can be
23 achieved regardless of whether they operate on renewable
24 fuels.

25 It is the only distributed technology that has

1 these features and has efficiencies that are comparable to
2 or even greater than natural gas combined cycle plants and
3 has the emissions that are sufficient for siting
4 everywhere in the state, regardless of non-attainment
5 areas.

6 Fuel cell vehicles could also contribute by
7 using renewable produced fuels that can come from tri-
8 generation or poly-generation plants.

9 And, finally, an emerging technology that can
10 use hydrogen as energy storage is a nice option that could
11 be considered for storing otherwise curtailable wind
12 power.

13 I'd like to success already demonstrated success
14 in a lot of these areas exists throughout the state. So,
15 for example, biogas operation of fuel cells is being
16 achieved throughout the state. For example, Tulare's
17 Water District is shown here. Biogas use in the tri
18 generation of power heat and hydrogen is already being
19 accomplished in Fountain Valley, California. Combined
20 cooling, heating and power is being accomplished
21 throughout the state. At UCI we're looking at the
22 complimentary dispatch of fuel cells so that they might be
23 able to complement the intermittency of wind and solar.

24 There's dispatchable green power that's already
25 being put onto the grid even that being used – that uses

1 natural gas. There are communities that I believe that
2 can contribute very significantly to the increased
3 penetration and use of renewable power if they are well
4 integrated and controlled. And there's research that
5 suggests that these renewable energy sustainable
6 communities will do a very significant job in the future.

7 And then in these transportation applications
8 where they can be used also for charging plug-in, hybrid
9 and battery electric vehicles but also providing renewable
10 fuels to fuel cell vehicles and the emerging idea of
11 energy storage, where hydrogen production could be made
12 from otherwise curtailed renewable resources.

13 Thank you for your attention.

14 MR. ALDAS: Thank you, Jack. We now listen to
15 Mirko's remarks.

16 MR. PREVISIC: Thank you for having me. My name
17 is Mirko Previsic. I'm with RE Vision Consulting. We're
18 a small outfit that's focusing on green renewables.

19 I've been involved in this field since about '96
20 and I think that the theme over the last few years is that
21 we seem to get at the real issues that are involved in
22 offshore renewables and they largely deal with the
23 challenges that are involved with getting technologies out
24 in the ocean. What you see out there on this screen on
25 the left side – on the right side is a high wind turbine,

1 2.3 megawatt deep water turbine that's been deployed since
2 2009. On the right top side that's the Pelamis Machine.
3 This was first deployed in 2005 and since then there's
4 been about 5 installations. The power technology's power
5 boy at the bottom left side has been in the water for a
6 few years as well.

7 There's sort of an accumulating basis for
8 deployments. I want to talk briefly about the research
9 potential. Offshore wind, especially in California, the
10 issue with offshore wind is that traditionally it requires
11 very shallow water and in the early deployments in Europe
12 with Horn's Ref and some of the projects, they go into
13 water depths of maybe 30 feet. And so the challenge with
14 California is that we have a very rapidly dropping
15 coastline and that pushes us to different types of
16 technologies, really, if we wanted to look at the -
17 tapping into the larger potential. And sort of the
18 technology pathways there, I think in terms of deepwater
19 technologies today, there's about three different machines
20 deployed today that are operational. There's another five
21 or so that are in the pipeline of being developed. The
22 total resource potential, this chart actually comes from
23 the National Renewable Energy Lab in Boulder. But if you
24 look at the deployable potential as a function of water
25 depth, you know the 0-30 meter water depth in light blue

1 here is 4.8 gigawatts but then as you go into 60-900 meter
2 water depth line you're looking at about 200 gigawatts and
3 you're much further from shore so visual impacts are
4 smaller. So it's important that we push the technology
5 toward that sort of technology envelope.

6 I want to touch briefly on wave energy and the
7 two are pretty related, both in terms of costs where they
8 stand today as well as technology maturity.

9 California has extremely long coastlines, about
10 1,200 kilometers. And we did a brief assessment – the
11 numbers that I put up here are from quite a while back.
12 We're actually just now in the process of releasing
13 another report for the U.S. Department of Energy but in
14 California the available power, the average available
15 power, hitting California coastlines are in the order of
16 36,000 megawatts. Extractable of that is about 5,400. So
17 it provides a significant resource potential.

18 In terms of the cost, and I think this is true
19 for many technologies, this is true for offshore wind as
20 well as wave. We've sort of have been testing a pilot
21 phase, technology cost is high just because it's early
22 stage technology, single unit deployment. Those sort of
23 issues. Probably on the order of \$0.40-0.70 / kilowatt
24 hour. If you actually look at the commercial opening
25 cost, so no technology improvements, but you're pushing

1 these plants to larger scales that are on the order of 50
2 megawatts, just the effects of pushing that to scale
3 brings you down to a range of about, we recently assessed
4 wave and we came in at \$0.26 / kilowatt hour for the first
5 commercial deployments. Wind today is on the order of
6 maybe \$0.20 plus, \$0.22 a kilowatt hour, for the early
7 commercial stuff.

8 But if we really invested a little bit into R&D
9 there's a huge potential to drive down the costs much more
10 rapidly and you can sort of see in the national context
11 this chart shows the commercial opening cost at about
12 \$0.26 and there's sort of an uncertainty bound around that
13 but the cost of electricity targets in Hawaii it's on the
14 order of maybe \$0.14. The lower 48 it's quite a bit
15 lower, 6-7. California probably a little bit higher,
16 probably on the order of \$0.10 a kilowatt hour is your
17 target which would be reasonable. But we could be there
18 pretty quickly if we focused on R&D.

19 Now in terms of the sort of needs of this
20 technology space what we need are experiment playgrounds
21 where we can test the technology, look at the
22 environmental effects, look at the whole lifecycle
23 implications of actually operating such a plant for a few
24 years and drive down costs.

25 And I want to just sort of – actually, before I

1 do that, in terms of learning rates and what other
2 industries have seen we know today that costs are pretty
3 high for marine renewables but that's something that's
4 very normal for an early adopter industry. We've seen
5 this with photovoltaics. We've seen this with wind mills.
6 We've seen this with natural gas turbines. And typically
7 we see for every doubling of capacity, we see a certain
8 percentage in reduction of costs, and that's been sort of
9 demonstrated over the year.

10 So it's not surprising that technologies today
11 are expensive but I think it's pretty reasonable to expect
12 that these costs will reduce pretty rapidly, especially in
13 the early stages of industry development.

14 A few more points I want to make and that is
15 there are several programs in place. The U.S. Department
16 of Energy has programs in both hydrokinetic, which
17 includes wave tidal, ocean currents as well as offshore
18 wind. They're about to establish a test site in Hawaii,
19 in collaboration with the U.S. Navy. There's also on the
20 offshore wind side the recently just closed solicitation,
21 \$180 million investment into, I think, it's between 5-6
22 demonstration plants around the country to demonstrate
23 offshore wind in different regions around the country.

24 So there's sort of a strategic interest in the
25 U.S., probably more importantly the U.K. in driving this

1 space and has had an R&D program in place for the last
2 decade or so and made significant progress over those
3 times. So we've seen a lot of good results coming out of
4 that.

5 In terms of wave power and what's been deployed
6 on the wave power side, just a few examples of some of the
7 commercial devices in the water. Pelamis deployed about 4
8 devices about now. It's started in about 2004 they're now
9 deploying their generation two machines, 750 kilowatts
10 installed. Ocean Links in Port Kembla. They deployed
11 their first unit in 2005. That's a 500 k/w Unit. Ocean
12 Power Technologies deployed between 4-5 units. They're at
13 about 150 kilowatt rated and they deployed in Hawaii, UK,
14 Oregon. Oysters deployed at EMEC in 2009, their first
15 unit, 500 k/w machine. They're now deploying their second
16 generation device at 2.1 megawatt and there's probably not
17 a 4 or 5 technologies. There's sort of prototype
18 development, or maybe a little bit more early staged, than
19 commercial development. But the point being is that the
20 technologies are moving towards a state of commercial
21 readiness where they would be ready to be, you know, used
22 in a demonstration type scheme.

23 That's all I had. Thank you.

24 CHAIRMAN WEISENMILLER: Okay. Thank you.

25 A couple of questions. I mean, one of them is,

1 what would you give as a realistic timeline for the
2 development of the ocean technology in terms of where, and
3 realizing that we have different technologies, word is now
4 where to get it to that sort of R&D demo stage and where
5 do you potentially get to the competitive commercially
6 available stage?

7 MR. PREVISIC: In terms of from now to, say a
8 demonstration stage, I think there is sufficient number of
9 technologies out there to actually demonstrate and
10 starting today, really, in the California type of
11 environment. And that sort of would allow you to really
12 gain experience on the environmental effects and some of
13 the social impacts and gaining public acceptance, etc.

14 The commercial timeline is a little bit more
15 difficult and, as you may imagine, it's very much
16 dependent on what kind of funding we're going to see over
17 the coming few years. I would think that offshore wind
18 might be a little bit closer than say wave technology just
19 because there's a huge amount of leverage that can happen
20 with onshore wind, which translates directly to offshore
21 wind. But the DOE sort of has horizons on the order of 10
22 years to get the commercial readiness but, of course, the
23 question becomes what is – at which point do you define a
24 technology commercially ready, right? So I think it's a
25 difficult question to answer.

1 CHAIRMAN WEISENMILLER: Yeah. I think the other
2 question is certainly one of the things – I was going to
3 say obviously all of us have been looking at fusion for
4 probably the last 30 years and having it be 50 years out.
5 So trying to understand what the timeline is here. And it
6 does take awhile for technology to get to maturity,
7 particularly depending on the competitive space.

8 MR. PREVISIC: Yeah.

9 CHAIRMAN WEISENMILLER: But one of the issues
10 that we're running into with wind is interference with
11 some of the military operations and so I'm trying to
12 understand how much we should worry about that in the
13 context of offshore wind for California.

14 Obviously, it's an impact on onshore wind.

15 MR. PREVISIC: Yeah. We haven't really seen
16 that issue come up as an issue. We've been working with
17 the U.S. Navy quite a bit and they're big supporters of
18 moving this technology forward because it can provide some
19 of their power needs in some of their remote locations.
20 Maybe offshore wind, you know, just because of tower
21 heights and those sort of things have more of a signature
22 in terms of impacts than say wave technology. But it's
23 not really been an issue that's been raised much, so far,
24 at least with that.

25 CHAIRMAN WEISENMILLER: Well, again, in the U.S.

1 - and the Navy spent a lot of time at the Secretary's
2 level trying to deal with the issue and making sure - not
3 blanket statements about it but certainly there are areas
4 where they are drawing pretty tight lines saying no wind
5 in those areas. But, again, you know, you can point to
6 wind operating near military bases which have a lot of
7 stealth technology and other technology so it's not a
8 total stop but, you know, there are certain areas that are
9 having impacts in limiting their use.

10 MR. PREVISIC: And I think a lot of the
11 technology space is a little bit too early in development
12 that we really see - that we're even starting to think
13 about these large scale deployment issues. That could
14 happen in, say, 20 years from now.

15 CHAIRMAN WEISENMILLER: Yeah. Although some of
16 it is obviously good to get out in front of. It would -
17 Certainly in the '80s we put a lot of wind machines into
18 Altamont and, obviously, it would have been good if we had
19 been thinking about the migratory bird patterns at that
20 stage than we were.

21 MR. PREVISIC: There's certainly room for well
22 thought out research programs that tackle these issues. I
23 would certain agree with that.

24 CHAIRMAN WEISENMILLER: Okay. Thank you.

25 MR. PREVISIC: Thank you.

1 MR. ALDAS: Thank you, Mirko. Our next panelist
2 is Lon House.

3 MR. HOUSE: Good morning. I'm going to talk
4 about current unused small hydro locations in California.
5 This top corner right here is pressure reduction valves.
6 Remember any time water falls it gains pressure. For each
7 foot of elevation that you drop you gain about half a
8 pound of pressure so if you have, and you have to keep the
9 pipelines within certain pressure parameters otherwise you
10 start blowing your joints out, so basically any place that
11 has more than 100 foot elevation you're going to have a
12 pressure reduction valve. And this is a facility in San
13 Gabriel Valley in which a small hydro electric turbine is
14 going to be put in as a bypass to a pressure reduction
15 valve.

16 There's irrigation drops. There's tens of
17 thousands of these pressure reduction valves throughout
18 the state. There's irrigation drops throughout the
19 central valley. There's thousands and thousands of them.
20 And then, the last one, is non powered dams. These are
21 either dams that were initially not powered or in this
22 particular area, this is Cache Creek, and this hydro
23 electric generator is not operated since the late 1990s.

24 I just am showing some new, small hydro
25 technologies. The one on the top left here is called the

1 hydro engine. It is specifically set up to deal with
2 irrigation drops. The interesting thing about it is it's
3 only looking at under 20 foot a head. So it is a very
4 interesting technology. The pump is turbine and basically
5 this is what most of the pressure reduction installations
6 are. You're basically taking a pump and running it
7 backwards. Instead of having electricity come in, running
8 through the motor and running your impellers and producing
9 water and pressure out there. You run it backwards. You
10 have to change the impellers a little bit and you have to
11 have some new electronics equipment in there but that's
12 the most cost-effective one that is available out there
13 right now.

14 The last one is something that's another new
15 project and there's a demonstration project out there in
16 the City of Riverside and this is basically a darious
17 machine that fits in a big water pipeline. And this -
18 these will go into the big, sort of backbone transmission
19 pipelines, 6 feet or 60 inches or above. The neat thing
20 about this is it only breaks about 10 pounds of pressure
21 when it runs this generator and so you can put them in
22 without compromising the flow in your particular line.

23 I put this up as one of the questions. This is
24 actually the project in San Gabriel Valley. To just to
25 show you that hydro is quite a bit different than the

1 other entities. This is after the water agencies decide
2 they want to build this project. How long it takes to get
3 through the process. The big chunk here in the middle
4 that none of the other technologies face is a FERC
5 license. What you can do with hydro is you can get an in
6 conduit exemption but you still have to do the full
7 consultation for a hydro facility, which means you have to
8 notify everybody, you have to have public meetings, you
9 have to do the full environmental documentation and that
10 takes between 6-9 months for any size hydro electric
11 facility that you're putting in. And, as you saw on the
12 previous slide, you're doing these in many cases on
13 potable water systems, so there's mothering left alive in
14 that water and they're often in the middle of the street.
15 So the question is do we – and there's some legislation
16 that I'm going to talk about in just a second. So I went
17 ahead and answered all of your questions, at least part of
18 them. So you can ask me anything, Bob.

19 The small hydro overview – the mantra has been
20 because hydro – the energy that's available is pressure
21 times flow. The way that hydro has been developed in the
22 past has always been custom turbines because the machine
23 that you need is uniquely depending on your particular
24 hydro, your particular flow and your particular pressure
25 regime. That works for large, in my world, large 1

1 megawatt. It's not cost-effective for the small project,
2 okay.

3 The California resource potential, and I just
4 put these up, this has been testimony that the Energy
5 Commission over the years. It's anywhere from over 250 to
6 over 1,000 megawatts are commercially available. What the
7 actual number is I'm not sure.

8 The development timeline is about two years.
9 Remember 6-9 months of that is the FERC exemption project.

10 The hurdles - FERC conduit exemption I talked
11 about. The interconnection costs that everybody else
12 faces but we just run into another one in which this was a
13 Rule 21 interconnection in Southern California and
14 southern California Edison came back to us and said,
15 "Stop. This is rotating machinery. You need a dedicated
16 ground bank for this thing. Not - the wind and the solar
17 guys don't have to have it. It's another \$40,000, which
18 destroys the economics of that project.

19 I think we have a workaround with that. There
20 was some email that came back from Southern California
21 Edison yesterday. I think we have a workaround with that.
22 But this is just something else that other entities are
23 just not necessarily having to face.

24 Distribution lines cost about \$50-80 / linear
25 foot. Particularly, and this destroys the economics of a

1 lot of the irrigation drops. Government programs I won't
2 talk about.

3 Technology cost. The hydro – the small hydro
4 facilities will generate electricity at about \$0.06-\$0.10
5 a kilowatt hour. This is full in. About \$0.0025 of that
6 is either regulatory or interconnection costs.

7 Commercialization. The pump is turbine is
8 currently commercial. They are still customized for
9 somewhat for the impellers and for the electronics. Some
10 of the other new technologies that I showed there are not
11 in commercial because they're awaiting orders to develop
12 their production line.

13 And, in general, cites below 100 kilowatts which
14 are distributed throughout the, particularly, the urban
15 areas are not cost-effective. The interconnection costs
16 will just kill you.

17 What can be done to enhance this technology?
18 And I put down here two legislations. Federal
19 legislations that will exempt in conduit hydro from the
20 FERC exemption from hydro. It will cut 6-9 months off of
21 the development timeline for these projects.

22 Because we're getting into areas with these
23 pressure reduction valves that we haven't gotten into
24 before we still do not have a standardized interconnection
25 primes for small hydro.

1 The fifth - price - we've talked about.

2 Access to funds. I say most of the small hydro
3 sites in California, I could probably say all of the small
4 hydro sites in California that I'm talking about here, are
5 owned by public entities, owned by water agencies. They
6 are facing the similar situation to all of the other
7 government entities in the state and they are really cash
8 short or investment short. So if access to alternative
9 financing mechanisms would greatly enhance the development
10 of this particular process.

11 And then, the last one, I want to talk about is
12 a standardized mass produced turbine. Generators are
13 still not actualized. One of the things that I would
14 really like to see is we have standardized pipes
15 throughout the state. Right. You've got 8, 12, 18, 24 or
16 36, 48. So you know what size is going in. You also know
17 what pressure those things are generally facing. Whoever
18 comes up with a standardized mass produced technology that
19 will fit in there, right? Because you're not facing
20 anywhere from 150-300 pounds of pressure. You're facing a
21 fixed amount of pressure. That has not yet been done.
22 But when that occurs and it drops the installed cost of
23 these projects, and these projects are generally about
24 \$1/watt when installed, that will make the economics of
25 the interconnection and everything much different and will

1 greatly enhance this particular technology.

2 These technologies, as opposed to the other
3 technologies, are actually energy efficiency improvements
4 because that pressure's being developed in the system.
5 Right now the pressure is either being burnt as heat or
6 noise. And what this does, and this is one of the reasons
7 it applies to the – under the self generation incentive
8 program. It's called pressure reduction valves in the
9 self generation incentive program but that's a unique
10 thing about hydro electric that's been somewhat un –
11 totally not completely successful of treating these as
12 energy efficiency projects but because they're generating
13 electricity then they get bounced into the generation
14 part.

15 That's it.

16 CHAIRMAN WEISENMILLER: Thanks and, obviously,
17 if these were going through project finance an issue for
18 the turbines will be the types of guarantees one gets and
19 that's probably also true for the bond financing. Just
20 trying to understand on the innovative turbine designs
21 you're showing upfront how many of those are actually
22 financeable at this stage?

23 MR. HOUSE: They – one of the issues to what
24 you're talking about is if you use SGIP money you have to
25 have a 10 year warranty on them. The turbine

1 manufacturers won't - will generally not warranty it for
2 that period of time but one of the things that's been
3 worked out is that you can do an own-in operation
4 maintenance thing with that. The other issue that can
5 drive a lot of these turbine costs up is once you set it,
6 you set it into a potable water system, you have a whole
7 new - it has to be stainless steel. It has to be a lot of
8 other parameters. That's one of the reasons that people -
9 you're sort of driving them to pumpless turbines because
10 the pumps are already certified to go into potable water
11 systems. And they have the warranties that are long
12 enough to do things. But it is an obstacle that these
13 new, innovative technologies or hydro technologies are
14 facing which are how long is the warranty and what kind of
15 certification do you have to be able to put into a potable
16 water system?

17 CHAIRMAN WEISENMILLER: Thanks.

18 MR. ALDAS: Thank you, Lon. Next panelist is
19 Bryan.

20 MR. HANNEGAN: Good morning, Commissioners.
21 Thanks for the invitation to speak to you today. It's
22 also a great pleasure to follow the excellent panelists in
23 front.

24 My name is Bryan Hannegan. I'm the Vice
25 President for Environment and Renewable Energy at the

1 Electric Power Research Institute in Palo Alto,
2 California.

3 EPRI, in case you may not be aware, is an
4 independent, non-profit organization that's conducting
5 research in the public interest on a variety of energy and
6 environment topics, primarily designed towards moving us
7 to a cleaner, more affordable and more reliable
8 electricity supply.

9 This year of the \$375 million in our annual
10 budget about \$25 million of that will go to renewable
11 energy R&D, much of which will be focused on just
12 precisely those gaps that Suzanne highlighted in her
13 excellent opening and that my fellow panelists have
14 highlighted this morning.

15 I want to step back and bit and see if I can't
16 put a wrapper around all of the comments that have been
17 made this morning.

18 In 2009 I was fortunate enough to lead, or co-
19 lead with my colleagues Jane Long, Lawrence Livermore and
20 Jeff Greenblatt at Lawrence-Berkeley Labs, a detailed
21 study of California's energy future, conducted at the
22 request of the California Council on Science and
23 Technology.

24 We, in effect, looked at the state's economy,
25 the population growth that we expected to see and was

1 projected by the state for 2050 and we asked the simple
2 question: can we reconcile the energy demands of that
3 society of 2050 with the very aggressive carbon reduction
4 goals set out under the executive order in 2005 looking at
5 our carbon budget that's 80 percent less than where we are
6 today.

7 So we basically set about trying to envision
8 what the California economy might look like, where all the
9 sources of carbon emissions might come from. It was a
10 study across the full economy. Not just the electric
11 sector but the transport sector, including both light duty
12 as well as heavy duty, rail, shipping, aircraft, etc.,
13 commercial, industrial applications and we went through a
14 series of stress tests to see if we could power the
15 economy entirely on one resource or another. Ultimately,
16 the number one takeaway from our study was that with
17 projected population growth, with an economy that's
18 projected to be roughly double what it is today, there's
19 simply no way to meet the 80 percent carbon reduction
20 requirement without first investing in, basically, a step
21 change in energy efficiency through a series of both
22 technologies and programs. Unless we increase the
23 efficiency of the economy by, in many cases, 80-90 percent
24 where we are today in terms of use of energy per unit of
25 state gross product. We didn't have a shot at all in

1 generating as much electricity or fuel that we would need
2 to while still staying within the carbon budget.

3 That left us in effect with an electricity
4 system after we applied all those efficiency savings of
5 about 550 terawatt hours of electricity in 2050. And we
6 set about looking of how one would provide that low carbon
7 electricity with one of three stress tests: either all
8 with nuclear power, all with fossil and CCS - carbon,
9 capture and storage, primarily natural gas, although we
10 also looked at coal with CCS type option and then the
11 third option was all with renewables and you can see on
12 this chart the sort of logical consequence of trying to
13 meet that 550 terawatt hours of demand and the amounts of
14 new generation capacity given that this would be 2050
15 where would we be 50 years from now. How much capacity
16 would need to be built and of what type?

17 And what I want to do with my remaining time is
18 focus just on the right hand side with respect to
19 renewables. You'll notice that we would envision in this
20 report, which was written up sort of as a separate sub
21 volume, a system that is 90 percent renewable energy of
22 that 550 terawatt hours. A good 70 percent of that is
23 intermittent, meaning it's coming from wind or it's coming
24 from solar PV. Either the utility or the distributed
25 scale. That combined capacity when you bring on all of

1 the other technologies in the renewable space about 150
2 gigawatts with a little bit of natural gas that's
3 available for load following, that's a residual carbon
4 budget of course but it's small enough that we feel that
5 we could meet the needs of fuel and for other activities
6 in the economy that are going to be much harder to de-
7 carbonize. In fact, one of the keys of our study is that
8 if you get this electric system decarbonized it provides
9 you with a range of more cost-effective options to go
10 about removing carbon from the rest of the economy.

11 We outlined in very significant detail for each
12 of the renewable technologies that we looked at, both the
13 capacity that was available, the barriers to renewable
14 energy and I'll just highlight many of the same topics
15 that were discussed by my co-panelists. In particular
16 it's about improving cost and performance, both on the
17 generation of the technology itself but also on the ONM.
18 And that's going to be particularly important as you see
19 today's renewables coming to the end of life in a decade
20 or so. Grid flexibility is very important. In fact we
21 looked at three different ways to balance the supply and
22 demand and when you think about the scale we envisioned to
23 do that with renewables, there are a lot of different
24 tradeoffs. Whether it's energy storage at both the bulk
25 and the distributed scale. Flexible loads. As envisioned

1 from the smarter grid as my colleague from ITRON
2 highlighted in his remarks, or natural gas and looking at
3 more flexible natural gas turbines that can run
4 effectively with low emissions but have rapid cycling
5 that's going to be needed to meet the future demands.

6 As I wrap up I think it's important to keep in
7 mind that renewables are one part of what we see as a
8 power system of the future. You've got to continue to run
9 the existing aspects and the existing infrastructure even
10 as we're transition to this lower carbon future. We also
11 need to take into account things like the smarter grid for
12 which renewables are going to absolutely need that as a
13 partner with cyber security, with consumer privacy, with
14 pricing signals and policies that allow consumers to be
15 much more interactive in participating in energy markets.
16 And also issues on the horizon like water and land use.
17 And, you mentioned yourself, Commissioner Weisenmiller,
18 impacts to defense and other segments of society for which
19 those don't go away when we start looking at a renewable
20 future.

21 We have several research topics underway at EPRI
22 to address those and certainly during the questions I'm
23 happy to answer in more detail on those. So with that,
24 I'll look forward to the questions and thank you again for
25 the opportunity.

1 CHAIRMAN WEISENMILLER: Yeah. The question that
2 I wanted to ask was in terms of – what are EPRI's top five
3 renewable projects in the R&D side?

4 MR. HANNEGAN: Yeah. So, great question,
5 Commissioner. The first one that we're looking at is a
6 combination of getting visibility into distribution
7 feeders where there's high penetrations of PV to try to
8 understand number one: what's going on there. Most of the
9 utilities does have visibility at the distribution level.
10 Related to that once we've characterized the variability
11 developing a range of options from smart meters to energy
12 storage at the home, at the residential level, to try to
13 balance that to allow for higher level of penetration of
14 PV.

15 I'd also say that we're looking at lithium ion
16 batteries. Not for transport purposes but what happens at
17 the end of their life in a vehicle and can we use those in
18 standardized commercial application that can provide grid-
19 scale or community-scale storage.

20 And then on the generation side looking at high
21 efficiency PV approaches that go beyond what's available
22 in the market today that allows us to use more of the
23 available spectrum. Right now you only focus on a narrow
24 window of it. If we can upconvert the rest of that
25 spectrum then you get much greater efficiency at the PV

1 cell.

2 CHAIRMAN WEISENMILLER: What sort of projects do
3 you have in the ocean technologies?

4 MR. HANNEGAN: We have been partners with the
5 Department of Energy in conducting wave and tidal energy
6 assessments. We're partners at the EMEC facility in
7 Europe that's doing the in-field testing. We had been in
8 discussions with PG&E regarding the Wave Connect facility
9 and doing some independent testing and environmental
10 assessment there. And I think that's the kind of thing, I
11 think my colleagues from — my colleague Milos indicated
12 that that would be very important to do and I fully
13 support that step.

14 CHAIRMAN WEISENMILLER: Thanks.

15 MR. HANNEGAN: Thank you.

16 MR. ALDAS: Thank you, Bryan. I think that sets
17 the stage for Lew's presentation. Lew will provide us
18 with some more policy context to clean energy technology
19 and I think this will also set the stage for the next
20 panel this afternoon.

21 MR. MILFORD: Good morning. My name's Lewis
22 Milford with Clean Energy Group, Clean Energy States
23 Alliance. I want to apologize for being late. I've been
24 on the road and my schedule was telling me it was at a
25 different time. But I think this is much better,

1 actually, that I talk after everyone spoke than before.

2 What I'm going to talk about is probably the
3 larger policy question that's facing many of the states
4 which is how to address the question of technology
5 innovation? Energy technology innovation. And if I can
6 spend just a minute also on the financing question that's
7 come up, in terms of how to finance many of these
8 technologies to scale.

9 The presentation that I'm going to give was
10 actually a joint one that I gave with the Brookings
11 Institution and the ITIF Foundation in D.C. I'm a fellow
12 at Brookings and a lot of the material here – and some of
13 the material here comes from a very good report they did
14 on the state of the cleantech industry.

15 This is a paper we did together a few months ago
16 which basically talks about the trends at the state level
17 from project finance in the clean energy space to many
18 states now engaging in much more aggressive actions to
19 support economic development strategies around clean
20 energy. I won't get into this in any detail. The link is
21 there but I think the trend is clear that states are
22 generally, now that they've spent a decade financing
23 individual projects, are looking to ways to introduce
24 policies to deal with many of the economic development
25 gaps to build out the industries in their states.

1 This comes from the Brookings paper that was
2 done a little bit ago. This is information that we all
3 know. Billions of investment in the clean energy sector.
4 It's also the site of innovation around the country. It's
5 spatially arrayed by state and also by metropolitan area.
6 It's a fairly diverse clean energy technology, economy
7 across the country that's emerging. But despite the price
8 declines that we've seen it still requires special
9 treatment as we all know. Either through subsidies and
10 other measures and there are the multiple valleys of death
11 that we're all familiar with. Every time a new paper is
12 done there seems to be a new Valley of Death that's
13 identified; there are several depending on the technology.

14 And what makes this situation worse is that, and
15 this is from a recent Brookings paper, in the next three
16 years we are likely to see a 75 percent reduction in clean
17 energy subsidy support for the clean energy sector. It's
18 a funding cliff in fairly historic portions. Obviously, a
19 lot of this is the end of the ARRA funding, which is a
20 fairly significant – and a lot of this is going to bear
21 down on the adoption and deployment of subsidies and
22 credits that have grown the industry in the last three or
23 four years.

24 There's been a historic and chronic
25 underdevelopment, underinvestment, in R&D that will

1 continue unless something changes.

2 You know the good news, of course, is that
3 states have been in the lead. California's obviously one
4 of the – the leading examples but other states as well as
5 a long list of policies from emission standards to RPS and
6 net metering. You're all familiar with these. New Green
7 Bank, PACE Financing and other loan programs. But I'd say
8 generally the main point of this talk is that states
9 generally have been slow to address technology innovation
10 and industry building in specific policy areas beyond the
11 project support, project subsidy, role. And I think it's
12 fairly clear that project subsidies alone aren't
13 sufficient to drive large and particularly innovative and
14 new technologies that many of which have been discussed
15 this morning that I've heard.

16 And I think is, again, as important as the
17 renewable portfolio standards are and we lead a national
18 group of all of the state managers of RPS laws around the
19 country. They, generally, are low cost based policy
20 provisions with the exception of some of the carve outs
21 that have emerged. For the most part RPS laws have not
22 been very effective in driving emerging or innovative
23 technologies, and there are other issues with RPS but the
24 main point, I think, is that one.

25 And so I think the main challenge is for states

1 that generally have funding/financing programs. It's
2 dominated by project-based funding, fairly limited
3 authority and support for economic development programs.
4 Not enough information about the industry, not enough
5 collaboration and states acting in isolation, which is a
6 historic problem and difficult to solve.

7 So what we suggest here, and I'll get into this
8 in a little bit of detail without spending too much time
9 on this, is I think to advance these policies to encourage
10 more innovative technologies, building database, focus
11 more on technology innovation, move economic development
12 into the main stream, into the center of policy making,
13 support clean energy in cluster initiatives and a lot more
14 collaboration.

15 You know the database, it sounds fairly simple,
16 but in many states, you know, there is not a clear
17 identification of the nature of these subsectors. What
18 exists, what the gaps are and therefore you need that in
19 order to tell you where you may be making the smart policy
20 interventions.

21 Innovation. You know, again, I think with the
22 pressure at the federal level if we're going to be
23 competitive internationally I think states have to step up
24 with specific technology innovation programs. I mean some
25 of the ideas may be to use the procurement policies that

1 have been clearly identified and used in RPS programs to
2 begin to drive emerging technologies through utility
3 mandates. That's something we can talk about more.
4 Creative financing to bridge the valleys of death, reverse
5 auctions through XXX was not supposed to be XXX but for
6 emerging technologies the papers have been done on the
7 idea of using reverse auctions to try to get lower cost
8 technologies. CalCEF, who I think you'll hear from today,
9 has done some good work in this area. And efficacy
10 insurance should be efficiency. It should be efficiency
11 insurance for CalCEF. Could be one way to address this
12 warranty and other question that is which is, now an area
13 of insurance that is simply undeveloped, not developed.

14 I've sort of addressed moving this cluster
15 development into the main stream, more collaboration. Let
16 me just end this with some thoughts on financing.
17 Recently we've had a number of conversations; we've
18 entered into a partnership with a national organization of
19 the bonding authorities around the United States. These
20 basically are the municipal, regional and state bonding
21 authorities. There are thousands, 50,000 of them, around
22 the U.S.

23 That's the way we have essentially financed the
24 infrastructure today: roads, bridges, hospitals, public
25 and private facilities. New public and private

1 partnerships that are emerging from these bonding
2 relationships. Our sense from dealing with them is that
3 among their membership is how to finance clean energy
4 projects is their top priority. And this is a, just to
5 give you a sense of, these are some of the examples –
6 there are some emerging examples of the use of bonds. I
7 know California has done some of this in the regional and
8 local level to do solar financing, efficiency financing
9 and also some wind development.

10 Just to give you a sense of scale, recall that
11 if you look to 2011, essentially the economic value of the
12 federal ITC, the investment tax credit, and the Production
13 Tax Credit together, was about \$7 billion. \$7 billion.

14 This is if you look all the way to the right, in
15 the first three months of 2012 – this is, essentially the
16 level of bond financing that has occurred in the United
17 States. Almost \$80 billion. So that, in effect, in about
18 four days of municipal bond financing we have the
19 equivalent amount of the total amount of 2011 of federal
20 support for ITC and PTC. It's not to say that this is a
21 perfect fit or that it can be a replacement but I think
22 that if we're serious about thinking of how to finance
23 these technologies to scale these entities have figured
24 out how to access capital markets. I mean the holy grail
25 of clean energy financing is how to get the capital

1 market, institutional investors, pension investors, to
2 invest in this area. Lower cost capital, longer term
3 capital as well. And I think that there's an opportunity
4 now to deal with these entities in a serious and dramatic
5 way to educate them about the clean energy opportunities
6 and then to educate the clean energy players about the
7 bonding opportunities. There's a marriage here to be made,
8 that's my point. And then again we may not get there
9 tomorrow. These may not be perfect fits. Use of bonding
10 authority will presumably depend on some continuation of
11 whether state or federal support to sweeten the capital
12 stack but there's an opportunity here to bring in a
13 significant amount of additional debt. How this fits with
14 more unconventional or innovative technologies is part of
15 the challenge here as well. But I think, again, combined
16 with other creative tools, perhaps efficacy insurance, use
17 of reverse auctions – the bonding guys will tell you, "If
18 you give me a long term power contract and a creditworthy
19 partner, we will figure out how to float a bond."

20 And so there are, obviously, a lot of issues
21 underneath this but I think it's an enormous opportunity
22 that we need to exploit.

23 So, I think that's it. Thanks for your time.
24 I'd be happy to answer questions.

25

1 CHAIRMAN WEISENMILLER: Thanks. First one I had
2 was the tax equity market more or less collapses in 2008.

3 MR. MILFORD: Right.

4 CHAIRMAN WEISENMILLER: So part of my question
5 is where is it now?

6 MR. MILFORD: I think that it's not much better.
7 You know, as of the last numbers that I saw, you know,
8 there are only about seven, eight, nine or ten banks that
9 are in the tax equity business.

10 So it's a very small cast of characters that are
11 still in the business. I have not heard that there's been
12 a significant upswing in the numbers of the availability
13 of tax equity. And I think even if it was larger, even if
14 it were larger, and the numbers were greater, you know, I
15 think most of the people in the industry would tell you,
16 and this is no surprise, this is not the perfect way to
17 build an industry. Through a very limited number of
18 players, where the cost of capital is significantly higher
19 than what it might otherwise be and then, obviously,
20 relying on boom and bust of federal approvals. And I
21 think some of the value of looking at a more, essentially,
22 distributed financing mechanism or mechanisms through
23 bonding infrastructures is that it may be a more durable,
24 less partisan way to raise capital at a local level. So I
25 hope that answers the question but I think it it's - I

1 don't think it's significantly improved.

2 CHAIRMAN WEISENMILLER: Okay. So the two
3 follow-ups there are first, obviously one of the – the tax
4 equity market or approach or tax incentive generally, one
5 of the complications is for foreign companies, that
6 obviously it's much harder to monetize the value as
7 opposed to a feed-in tariff. So part of the question is
8 how – in terms of the PPA versus the feed-in tariff type
9 of structure how does that interact with the financing
10 issues? Obviously, feed-in tariffs are a very tough issue
11 to deal with –

12 MR. MILFORD: Yes. Right.

13 CHAIRMAN WEISENMILLER: But I assume on at least
14 the monetization of the assets. Presumably it's easier?

15 MR. MILFORD: Maybe simpler. I'd have to think
16 about that. I'm not sure I've got a quick answer to that
17 but let me think about that problem.

18 CHAIRMAN WEISENMILLER: The other thing is that
19 in the cogeneration business there was that sea change
20 when things moved out of project financing much more to
21 the 144A market and that took, certainly, the rating
22 agencies to step in and starting to rate the portfolios so
23 the investors in the 144A or the bond industry generally
24 was more comfortable dealing with the assets.

25 MR. MILFORD: Yes. Yeah. I think, you know, I

1 think this is part of a – right now, as far as I can tell,
2 no one is sort of systemically trying to figure out how to
3 create a similar transition in this area whether for wind
4 or solar or other technologies as you described in that
5 sector.

6 So I think that's part of a very significant
7 challenge. You know we really don't have a focus on this
8 potential alternative source of financing working with the
9 public players, working with the bond council,
10 underwriters and others to try to figure out if it's
11 possible to, you know, at least have many of these types
12 of projects brought within an infrastructure financing
13 realm.

14 CHAIRMAN WEISENMILLER: Cause certainly part of
15 the driver at the time was you had the rating agencies
16 looking at it as a real business opportunity.

17 MR. MILFORD: Right.

18 CHAIRMAN WEISENMILLER: And getting into it so
19 the question now, obviously since then, the rating
20 agencies have also been hammered post 2008 on just the
21 basic business model but, again, it's – part of the
22 question would seem to be how to get the rating agencies
23 to get comfortable that the infrastructure is there. Now,
24 having said that, if you have assets where you can't even
25 get a performance guarantee for 10 years, it's pretty hard

1 to imagine you're ever going to get a 20 year bond behind
2 it.

3 MR. MILFORD: Right. I think there are two
4 issues. One, I think is that, for the, you know,
5 conventional technologies. Let's say we're still looking
6 at solar and wind and other conventional technologies. I
7 think - and so this is just simply, not simply, but a
8 matter of scaling up without the problem of rating
9 agencies and warranties and the like. So I think there's
10 that whole area that still needs exploration. There's a
11 significant scale up problem. And then I think when we're
12 dealing with more innovation technologies you have the
13 issues that you face. No doubt. I don't mean to stress -
14 what I don't want to leave you with is that this is only a
15 financing option for innovative technologies. And I think
16 it may be in the short run that the more significant
17 opportunities are for scale up and financing of those
18 technologies that don't raise technology risk.

19 CHAIRMAN WEISENMILLER: Right. I mean - it's
20 not obvious that there's not many financing sources that
21 are more mezzanine or whatever where there is technology
22 risk. Not on a significant scale.

23 MR. MILFORD: Right. Yeah. I think that's
24 right.

25 CHAIRMAN WEISENMILLER: You know. And some of

1 these are certainly looking for that money. And that's
2 what the, you know – basically that question in part then
3 replaces the federal guarantee program because that could
4 certainly deal with, like, how to get the first heliostats
5 financed or something.

6 MR. MILFORD: Yeah. I think that that's –
7 that's to be figured out. That's an issue. You're still
8 going to need something else but at least you have players
9 that are beginning to ask whether they can participant in
10 this game in a much more significant way, which I think is
11 a good thing and we should take advantage of it.
12 Questions? Okay.

13 CHAIRMAN WEISENMILLER: Thanks.

14 MR. MILFORD: Thanks very much.

15 MR. ALDAS: Thank you, Lew. The – I guess the
16 floor is open for discussion. If you, if the panelists
17 have questions or Lew's presentation or Commissioners for
18 a question to our panel of experts I can kind of start
19 this. If you have any follow up comments related to, say,
20 the financing on your specific technologies, I think, some
21 or all of you have addressed it by topic. But I think some
22 or all of you have addressed that in your topic but if you
23 additional comments related to, say, financing strategies,
24 government support, to your specific areas, I'll just go
25 around the room and see what you comment about it.

1 MR. SIMONS: Well, I think it's - it's
2 fortuitous that BrightSource will be here this afternoon.
3 BrightSource, of course, dropped out of an IPO a couple of
4 months ago. They have 2.3 gigawatts of projects that are
5 under development for California. And what Lew just talked
6 about seems like an opportunity that should really be
7 looked at for central station type facilities. That the
8 risk is certainly much lower than the innovative
9 technologies and there's a dearth of financing options
10 right now so I thought it was very interesting, and see
11 that as a great opportunity.

12 MR. GLASSLEY: I agree with what George just
13 said and, in addition, would like to just emphasize the
14 importance of what a number of people gave presentations
15 today touched on this issue. The ability to find ways of
16 putting together multiple resources and financing those is
17 a missed opportunity right now, I think. Many places,
18 communities, reaches in the state have the opportunity to
19 do something that combines resources but there isn't a lot
20 being done in finding innovative ways to finance those.
21 And I think that is an area that could be an interesting
22 funding option for the financial market.

23 CHAIRMAN WEISENMILLER: Yeah. But, again, it's
24 - I sort of struggle with the concept because if you take
25 a capital intensive technology where you have trouble

1 right now getting that in the equity and getting coverage
2 ratios, if you combine a second equally capital intensive
3 technology, unless you really have some economy's
4 transmission, operation or something it just seems like
5 you take a very tough financing problem and make it at
6 least twice as tough if not square it so you know you
7 really have to make a convincing case that you have some
8 synergies or complimentary there and not just making or -
9 you know. And in my year doing project financing, I knew
10 I can think of one project where people were trying to
11 combine technologies and it was just a total nightmare
12 that you never quite got there.

13 MR. GLASSLEY: I think it's an area that is
14 absolutely new and there's not a lot of experience in how
15 to do it effectively. But I think there's a number of
16 situations where benefits are tremendous. For example, in
17 the Imperial Valley, currently the way things are set up
18 there right now in terms of both solar and geothermal is
19 that they're located on separate sites. That means that
20 the footprint environmentally is huge. It means that the
21 permitting effort on both projects ends up being separate
22 and long-term. It means that transmission facilities have
23 to be doubled in terms of transmission line distance.
24 Whereas if you combine those resources, in places where
25 it's appropriate to do that, you can eliminate many of

1 those costs and challenges in time and the result is you
2 increase your output and decrease your cost. In
3 situations like -

4 CHAIRMAN WEISENMILLER: Yeah.

5 MR. GLASSLEY: Those places have to be carefully
6 selected and that's part of the challenge.

7 CHAIRMAN WEISENMILLER: And technologies have to
8 really - they have to fit together. I mean certainly when
9 people look at the profiles for wind, you know, and what
10 that means on the transmission line and the question is do
11 you have something that complements that profile?

12 MR. GLASSLEY: At the same time if you combine,
13 say, wind and geothermal which is baseload or geothermal
14 and solar you have the capability of diminishing some of
15 that variabilities simply because you have that baseload
16 already there and the variability of those other resources
17 on top of that.

18 CHAIRMAN WEISENMILLER: Yeah but geothermal, I
19 know, you know, at one point we were - I was trying to
20 negotiate a contract where the geysers would have been
21 dispatchable.

22 MR. GLASSLEY: Mm-hmm. Mm-hmm.

23 CHAIRMAN WEISENMILLER: And it can be
24 dispatchable. That's the bottom-line. But the economics
25 you couldn't make sense for that capital intensive

1 technology, to suddenly reduce its operation to, say, 50
2 percent. Or 30. You know – so, I mean, in theory, you
3 know – so again, it’s in kind – so hopefully someone will
4 figure out how to do a homerun on that but I’m just saying
5 for a very capital intensive technology to make it
6 dispatchable you just have to deal with the reality if you
7 get half the revenue, you know, more or less you get some
8 value for the additional integration costs. The savings.
9 But those are very small, very small compared to the half
10 the revenue the guises would have gotten otherwise.

11 COMMISSIONER PETERMAN: I think I would just add
12 to that, this is Commission Peterman, and first of all,
13 hello, everyone. I had another meeting to go to this
14 morning. Sorry I had to miss the initial presentations
15 but glad to be here.

16 Based on the comments we’ve heard from the Chair
17 and, at least the panelists comments we’ve heard so far,
18 it seems that there are good opportunities with co-
19 location but we need to identify what the best
20 opportunities are first for proof of concept and for
21 financing and so it’d be great to hear in your comments
22 that you file some of those examples.

23 MR. GLASSLEY: I think you’re absolutely right.
24 I think there’s a lot of work that needs to be done to
25 identify where those opportunities exist. I think we’re

1 just beginning to explore that possibility. And part of
2 what we – there was a project that we undertook in
3 collaboration with several other renewable energy
4 collaborative looking at the opportunities existing in
5 Southern California. There are opportunities that do
6 exist in the L.A. basin, they're very localized, but they
7 nevertheless exist. Same thing is true for the Imperial
8 Valley. And I think that was simply the first step in
9 moving in the direction of finding those most optimal
10 opportunities for developing these kinds of co-located
11 resource potential.

12 COMMISSIONER PETERMAN: Appreciate your point
13 that many of these benefits are local because a theme
14 throughout the workshops we've had so far is the
15 opportunity for counties and local governments to do more
16 comprehensive planning around renewable development. And
17 we will be speaking to some particular opportunities
18 within the state and so identifying the geographic areas
19 as a part of that prioritization would be beneficial.

20 CHAIRMAN WEISENMILLER: Yeah. I think the other
21 thing on a geography part, you know, and there's a common
22 concern on permitting and stuff but one thing we've
23 learned very much in permitting is location really
24 matters. If you pick a stupid site it takes you forever
25 and that's come up in the mitigation. If you pick a smart

1 site it's still not going to be easy but at least it's
2 doable. So it's very important on all these technologies
3 to be smart about where people try to put them. And I
4 suspect, particularly as ones looking at that and the co-
5 location opportunities in the local aspects, it's very
6 important. But, again, you could pick a geothermal site
7 that can go very fast through permitting or one that's
8 just never gonna happen.

9 MR. GLASSLEY: I appreciate your comment and I
10 think that you're absolutely right about that. You - it
11 is possible to be smart about this. At the same time the
12 permitting issue isn't so much with the Energy Commission
13 and the way that it goes through the permitting process,
14 the 49.9 megawatt, you know, line. What complicates it to
15 a great extent, at least for geothermal but I suspect this
16 is true for most of the other renewables as well, is that
17 there are also a lot of local regulations that have to be
18 met because of local concerns and idiosyncrasies. And, in
19 many instances, at least what we've found for geothermal
20 is that the issues that arise are often the same but
21 they're administered differently and results in very
22 inefficient processing of permitting when it would be
23 possible, I think, for the state to provide not a dictator
24 way of doing it but guidelines for what the best practices
25 are for moving forward with projects like this. Both for

1 the developer as well the local communities and –

2 CHAIRMAN WEISENMILLER: Yeah. We did. We, with
3 BLM, did sort of a guidance document on best practices
4 and, generally, what we heard – and a lot of that was
5 really trying to make sure that a project was good in
6 terms of screening and, I mean, all – you know, but
7 generally the developer said, “Oh my god. If we do all of
8 your best practices, it’s going to be too expensive.” And
9 generally the environmental participants said, “Gee. You
10 really didn’t go far enough.” So there is a sweet spot
11 there. I’m not necessarily sure we found it. We’re
12 certainly happy to get comments eventually from people
13 but, again, best practices are certainly in the eye of the
14 beholder.

15 COMMISSIONER PETERMAN: I’ll also add that, at
16 least in a previous workshop, I believe it was the one
17 geographic siting, we heard from the association of
18 counties. That they’ve developed a streamline permit for
19 solar PV and so it seems that something that could be
20 followed up on is extending that to other resources as
21 well. And it’s good to hear about, for example, some of
22 the geothermal challenges, which I have not been familiar
23 with.

24 Also we’ve heard though from parties,
25 particularly business developers, that identifying the

1 right location is part of the business model and, you
2 know, competitive advantage. And so we're trying to walk
3 that fine line as well by giving guidance versus being
4 clearly identifying everything that competitors would like
5 to be able to identify in order to assert their value.

6 Should we move on?

7 DR. BROUWER: Sure. This is Jack Brouwer from
8 the National Fuel Cell Research Center. I just want to
9 make a couple of comments because I think that the biogas
10 and biomass resources that we have around the state,
11 they're generally distributed and fuel cell technology
12 offers one of the best opportunities to make good value
13 out of that resource. Offering, of course, very low
14 emissions when it converts these biomass and biogas feed
15 streams but then also offering high efficiencies. So to
16 meet the 33 percent goal it'll give you more energy per
17 unit of biogas or biomass going in. And then it also
18 offers this opportunity, like some of the other renewables
19 like geothermal, to be dispatchable or, at least,
20 continuous power so it has a different signature when it
21 works on the grid. So I think those features engender
22 some really neat characteristics.

23 One big, I think, investment that could be made
24 that would bear a lot of good fruit, I think, would be to
25 look at gas clean up systems. These are quite expensive.

1 Also, costly to maintain. Adding a lot of cost to the
2 operations on biomass and biogas for both fuel cells and
3 other alternative energy conversion devices. So, you
4 know, gas turbines and other things like that. So that
5 would be a nice area to invest a little bit of money in.

6 COMMISSIONER PETERMAN: Thank you for those
7 comments. When thinking about fuel cells and the
8 challenge that we found is that the economics in terms of
9 using renewable fuels are hard to reach and just wondering
10 if maybe you could do this in your initial comments and
11 please just let me know if you did. I'll review the
12 transcript. But if you wanted to comment at all on what
13 the economic needs are in terms of being – of allowing
14 fuel cells to use more renewable fuels. Where are the
15 constraints? Is it in the supply? At a price will it be
16 available? If you could speak to that.

17 DR. BROUWER: Well I didn't necessarily comment
18 on all of those things. The – but it is very important
19 because operating on a renewable fuel does add a lot of
20 cost to the initial cost of the system and even the
21 operating cost. I believe, though, that with the SGIP
22 offering an increased incentive that's very helpful for
23 renewable use of renewable fuel use and fuel cells. The
24 other thing that has – that could be helpful is to allow
25 the introduction of these fuels in the natural gas

1 pipelines and to allow it to be wheeled throughout the
2 state, which it doesn't necessarily – which isn't
3 necessarily allowed everywhere for all types of biogases.
4 That's being worked on. So I see some light at the end of
5 the tunnel there.

6 I think also establishing feed-in tariffs is
7 going to be very important. And we've heard several other
8 speakers talk about feed-in tariffs as being helpful for
9 the community.

10 COMMISSIONER PETERMAN: Thank you.

11 MR. PREVISIC: So, Commissioner Peterman, I know
12 you haven't had a chance to see my presentation. I spoke
13 on offshore wind and wave power earlier.

14 In my mind and just looking over your list of
15 questions here there's some unique opportunities. The
16 opportunities that California has a tremendous potential
17 for offshore wind, deepwater offshore wind, as well as
18 wave power. Deepwater offshore wind on the order of if
19 you just look at water that's within 60 and 200 meters or
20 60 and 900 meters, I believe it is, it's on the order of
21 200 gigawatts and then wave is on the order of 5-20
22 gigawatts type of potential.

23 So tremendous resource potential that we could
24 potentially harness. There's some unique opportunities if
25 we're looking at trying to develop a pathway to adopt

1 these technologies. There's some oil and gas platforms in
2 Southern California, particular platform Irene. They're
3 grid connected. We could directly tie demonstration
4 schemes off those platforms, assuming we get permission to
5 do that. But it would eliminate a tremendous amount of
6 infrastructure costs to connect those plants back to the
7 grid and it would be a tremendous demonstration
8 opportunity for both, I think, combined offshore wind as
9 well as offshore wave technologies.

10 In terms of cost protections, I mentioned this
11 earlier, but they're expensive now. We know that's very
12 typical for early adoptive technology and we expect those
13 to reduce pretty rapidly. That's very typical for early
14 stage technology development.

15 The last thing I want to mention is tremendous
16 partnering opportunities. And the two main entities that
17 sort of have a strategic interest in the marine renewables
18 is the U.S. Navy and they're very active participants in a
19 demonstration project in Hawaii. That they're working
20 together with the U.S. Department of Energy with that's
21 moving forward. They actually have a cable in the water
22 and they're moving forward a very small demonstration
23 project.

24 And the second one is the U.S. Department of
25 Energy. U.S. Department of Energy has an active wind and

1 water power program. Under the water power program they
2 look at MHK, marine hydro kinetic technologies. Wave is a
3 strategic focus within that area. The other areas
4 offshore wind and they just closed recently a solicitation
5 of \$180 million to build between 4-6 demonstration plants
6 around this country.

7 COMMISSIONER PETERMAN: What kind of capacity
8 factors are expected with these various technologies?

9 MR. PREVISIC: Offshore wind is probably on the
10 order of 40 percent in good sites. Offshore wave is on
11 the order of 30-40 percent as well. It's site specific,
12 obviously, but California resources – we looked
13 extensively, particularly up north towards Humboldt County
14 at some potential deployment site. Actually with the Wave
15 Connect Project, which ended up not moving forward, but we
16 did quite a few studies and were looking at 30 percent
17 plus sea factories.

18 CHAIRMAN WEISENMILLER: Yeah. I had one
19 question. Obviously, when one looks at Chevron's expert
20 efforts for offshore development of oil and gas platforms
21 off Santa Barbara, at some point they just – after I think
22 of about a decade rose the white flag and left. And so I
23 guess the question in part is, you know, how realistic is
24 it in terms of the sensitivity? I mean, you're point was
25 if we could go far enough off shore that will dampen the

1 public opposition but, obviously, using existing
2 platforms, you know, may or may not unite those issues.

3 MR. PREVISIC: It's a good point and I think
4 there's some political sensitivities around offshore
5 development that would need to be looked at. In general,
6 I think that the pushback against oil and gas was directed
7 against oil and gas. It wasn't necessarily offshore
8 platforms, per say. So I think it's important to make
9 that distinction. There's been, actually, quite a bit of
10 support for some of these demonstration projects moving
11 forward. Obviously, the future will prove - I mean once
12 we start developing a pilot plan and I think that's why
13 it's important to actually move forward with pilot plant
14 to really start understanding those issues a little bit
15 better. It's probably a little bit more pronounced with
16 offshore wind than offshore wave. Offshore wave
17 technologies, they're just so low lying. It's really hard
18 to see them from shore unless you have sort of perfect
19 visibility and it's a clear, nice day. Offshore wave,
20 obviously, with the tower height that introduces the
21 visibility issue from shore. And, I think, that needs to
22 be looked at a little bit more closely.

23 Southern California has a lot of waters - water
24 depths that are sort of suitable that are pretty far
25 offshore right around, you know, Catalina Islands. Those

1 sort of areas. Where you could actually push deployment
2 pretty far offshore. So I think there's some interesting
3 areas. It also happens to be great wind use resource,
4 offshore there, as well as a wave resource. So there's
5 some interesting opportunities there.

6 CHAIRMAN WEISENMILLER: Yeah. I was going to
7 push you back on your comment about offshore opposition in
8 terms of thinking back to the Cape Cod issues. You know -

9 MR. PREVISIC: Yeah. It's - it's probably a
10 difficult thing to really understand how public opinion
11 will shape with any of those issues, but - and I think
12 you're right. It's a critical issue that needs to be
13 looked at. Yeah. Yeah.

14 COMMISSIONER PETERMAN: Thank you. Before we
15 move on to the next speaker I just had one follow up
16 question for Dr. Brouwer on fuel cells.

17 So at the Commission, historically, we've funded
18 through the ERA Program small fuel cells, less than 30kW
19 and we've seen significant interest in this market in the
20 last year because of some changes to telecommunication
21 requirements. They're requiring cell phone towers to have
22 backup generation and there's an opportunity there to have
23 fuel cells that are using renewable power. Currently,
24 these are being used primarily, almost exclusively, as
25 backup power. And, looking forward, wondering if you had

1 any insights about the potential for the small systems to
2 be used for primary power. Whether the investments that
3 are being made now by the telecommunications and the
4 railway yards are getting to the commercialization scale
5 that would make it cheaper for primary power use at the
6 home level. Is this is an expectation for the industry
7 going forward?

8 MR. BROUWER: There have been a lot of technical
9 developments in this area, especially associated with
10 proton exchange membrane fuel cell technology to allow the
11 stack technology to last very much longer than it
12 previously did. Some really interesting insights into
13 cell degradation phenomena that actually led to this. So
14 that we have proton exchange membrane technology like
15 that, which is installed in some of these
16 telecommunication sites that could be dispatched and
17 served many more hours than they were originally designed
18 to serve.

19 I guess, though, that the current installations
20 would have older technology that would probably better be
21 dispatched only, like, during critical peak pricing
22 periods. Not necessarily on a continuing basis because I
23 know if you use those on a continuous basis the stack
24 would fail after 10,000 hours or so.

25 So that's what I would envision the current

1 technology being able to do. But new installations could
2 very well be used for more continuous power and dispatch,
3 you know, whenever the grid would need it, for example.

4 COMMISSIONER PETERMAN: Thank you.

5 MR. PREVISIC: I have a brief additional
6 comment, if I may, and I know I sort of – I didn't quite
7 respond to your question earlier, Mr. Weisenmiller, on
8 time horizons for this technology to become commercially
9 mature.

10 My sense is if you just looked at a
11 demonstration case, and that's really what has to happen
12 before we can talk about any commercial deployment. Is we
13 need to demonstrate the technology at say 5-10 megawatt
14 type of deployment capacity. You know, you're looking at
15 permitting 2-3 years, another 5 years of demonstration.
16 So you're time horizon is on the order of 5-10 years
17 before you could actually make a choice whether you wanted
18 to adopt it commercially within California. And that's
19 sort of independent of what the technology is doing. The
20 technology itself is coming along pretty well. How
21 rapidly it reduces in cost remains to be seen. But maybe
22 that gives the first order estimate in terms of time
23 horizon that you were looking for.

24 CHAIRMAN WEISENMILLER: That's helpful. And,
25 again, obviously everyone has the opportunity to

1 supplement their comments in writing when the responses
2 come in. One of the things that would be sort of useful
3 to understand is we did have PG&E's efforts to really do
4 that, you know, demonstration which they spent a lot of
5 time and money on, which is basically at some point, I
6 don't know, we'll say washed away. But anyway trying to
7 figure out what we learned from that effort and how to
8 move forward.

9 MR. PREVISIC: Yeah. The PG&E effort was maybe
10 a little bit unfortunate with how it ended, certainly. I
11 think what we learned from that effort was certainly we
12 identified some really good deployment sites. You know.
13 Initially we started off in Fort Bragg. We did some
14 concept studies. I was actually with – under EPRI's
15 tutelage back with Roger Bedard. We started that process
16 and that goes back now 6 years, or 7 years, so quite a
17 while back. And then PG&E started to take over that
18 project. But we started at Fort Bragg. There was quite a
19 bit of public opposition in Fort Bragg, actually, against
20 wave power.

21 We moved to Humboldt, Humboldt has a little bit
22 better port infrastructure and that's one of the lessons
23 we learned. You've you gotta be very close to good port
24 infrastructure to support that demonstration plan. But
25 relatively costly just because you have to bring these

1 cables out, about 3-4 miles, into the ocean. And so the
2 infrastructure cost was pretty high.

3 And, as a third option, we actually looked at,
4 you know, down in Southern California at that platform
5 Irene. And that's sort of where the opportunities sort of
6 converge. But, you know, just by leveraging these sort of
7 infrastructures that are already in place you're saving on
8 the order of \$20-\$30 million right off the bat and it
9 makes it much easier because a lot of these areas have
10 been already studied. So around these oil and gas leases
11 all the environmental work has been done to an
12 excruciating detail, collaborating all these studies into
13 a demonstration project, which has shortened the time
14 horizon quite dramatically. So there was quite a bit of
15 learning out of that process. It was unfortunate that it
16 terminated but there were definitely some takeaways there.

17 CHAIRMAN WEISENMILLER: Where you involved in
18 the efforts to looking at more tidal in the Bay Area?

19 MR. PREVISIC: Yes.

20 CHAIRMAN WEISENMILLER: And, again, what were
21 the lessons learned from that effort?

22 MR. PREVISIC: The lessons learned from that
23 effort is that - I have to back up. That was 2004 that we
24 did a study under EPRI again. We did a resource
25 assessment, a very crude one. We spent \$10,000 on that.

1 And we did a conceptual design. The issue that we didn't
2 quite understand back then is power density in the tidal
3 stream is velocity³ so if you make a little mistake in your
4 flow velocity in your stream then you're really far off
5 with your power density and power production numbers.
6 Very important – and I think just because we didn't spend
7 enough time and money on the research assessment we over
8 estimated the resource on the Golden Gate Bridge.

9 I think the finding now is that the resource is
10 pretty small, and that it wouldn't support any commercial
11 developments. And I think that's true for all tidal
12 resources in the state. There's really not any
13 substantial tidal resources in California.

14 MR. HOUSE: One thing that would be very useful
15 is a financing mechanism for the distributed generation
16 technologies. They're – they face the same problems that
17 the larger utility scale renewables but it's amplified.

18 If I'm a water agency and I want to put in a
19 solar facility, one megawatt solar facility, it's going to
20 cost me \$5 million. I can go out to the bond market and I
21 can actually bond that. If I wanted to do the same amount
22 of capacity with 3 330 kilowatt hydro facilities I'm going
23 to get 3 or 4 times as much energy but it's only going to
24 cost me \$1 million.

25 It's very, very difficult. If I don't already

1 have that money set aside it's very, very difficult to go
2 out – because the underwriting costs will just kill you if
3 you end up doing that. The other problem is as opposed to
4 dealing with the when you're – when you sort of group
5 these together instead of doing the due diligence on one
6 particular facility you're doing it on three separate
7 facilities and so basically what we're seeing in the small
8 hydro industry in California is if you go and talk to a
9 water agency, if they don't have money set aside currently
10 to be able to do this, it is virtually impossible to get
11 these things financed. So if there were something and
12 there's thousands and thousands of these sites around the
13 state. So if there some mechanism in which you could get
14 a financing authority that deals specifically with
15 smaller, you know, under one megawatt distributed
16 generation technologies that would be very, very useful.

17 COMMISSIONER PETERMAN: I'm just sitting here
18 thinking about the array of financing mechanisms that we
19 have available for DG and to what extent hydro qualifies
20 for them. And I want to – I don't think they do.

21 CHAIRMAN WEISENMILLER: Yeah. Well, again, it
22 sounds like, again – I was going to ask Lon the question
23 about why don't I do JPA of aqua members to try to do it.
24 But, again, that's not going to address the every single
25 project needs due diligence on the engineering and the

1 finance, etc. package and the due diligence is going to
2 kill you.

3 Typically, the smaller sizes on the financing
4 side, you try to do leases. Obviously since, you know,
5 whatever the right threshold is to do project finance
6 project and the cost, certainly millions of dollars. So
7 you can't make it work. But, I mean, I know Backtrack and
8 Brown at one point was trying to do a general services,
9 would still try to do more lease packages for things that
10 were under \$1 million, say.

11 MR. HOUSE: And that's exactly one of the things
12 that is being looked at is setting up some sort of joint
13 powers authority to be able to bundle a bunch of these
14 together. But when you set up a joint powers authority it
15 becomes another government entity and it's got the -
16 there's a lot of issues with ownership and who gets
17 responsibility and who gets the risk associated with this.
18 SO like I say that's one of the things that they're
19 looking at but basically now the only sites that are being
20 developed are water agencies that have money that's been
21 set aside in their capital budget they can allocate to
22 some of these projects. And if you have to go out and you
23 have to finance these projects, the developers are just
24 walking away from them.

25 CHAIRMAN WEISENMILLER: And, again, it would

1 seem like one shot would be if the manufacturers would
2 just, you know, want to actually sell their product.
3 There they do equipment leases. You know, presumably they
4 could roll through the whole market in California.

5 MR. HOUSE: They could but this is such a new
6 market, the sub one market, and if you're looking at it as
7 some of the big pump manufacturers and doing the pumpless
8 turbine. The problem that they had with leasing it is
9 that you're taking the pump, you're changing the impeller
10 somewhat but you're throwing a bunch of electronics on it
11 to hook it into the grid and they're saying, "Hey. This
12 is not our machine now. You're messing with it and you're
13 making it do things that we can't control. And so we're
14 not going to lease it because we don't produce the whole
15 package." So it is a bit of a quandary.

16 COMMISSIONER PETERMAN: Thank you. That was
17 some interesting insight. Should we move on?

18 MR. HANNEGAN: Yeah. Thanks. So I'm Bryan
19 Hannegan with the Electric Power Research Institute. I'm
20 also an elected member of the Board of Coastside County
21 Water District. So a lot of what Lon just said is
22 absolutely spot on. We're going through our budget
23 process right now and if we don't have the money set aside
24 from a capex there's no way we're going to move forward on
25 a project, even though the energy costs are one of the

1 highest parts of the operating budget for the district.
2 So, one of the things that I might suggest is that that
3 would be a good question for your I-Bank witness later
4 this afternoon. There's a lot of I-Bank activity going on
5 just in the course of normal reservoir refurbishment,
6 pipeline placement, etc. It seems to me that those would
7 be excellent times to consider some of these energy
8 opportunities as well.

9 And that's one of the comments that I wanted to
10 make. We've heard a lot this morning about specific
11 components and it's important to step back, I think, and
12 say, "What kind of system are we trying to create?" And
13 that was one of the outcomes of our California Energy
14 Futures Study that I spoke about this morning. Is that
15 the power system, the water system, the economic system in
16 2050 under the low carbon requirements are very different
17 than what we're doing today. And so one of the things
18 that I'll stress as a follow up is we're really talking
19 about two different financing issues here. Both the staff
20 presentation and Lew's excellent report showed two gaps,
21 one of which is a technology risk driven gap. Relatively
22 early on in the innovation stage where collaborative R&D,
23 test beds, demonstration projects. Those are all kind of
24 the right horses for the courses for that.

25 The second is more about scale up and access to

1 finance. And I think that it probably more in line with
2 what you're looking at here today but that's very
3 different and very targeted on something for which you've
4 already effect engineered out the technology risk. And in
5 a way they're almost two different challenges with two
6 different sets of tools that you want to look at. And
7 furthermore, something for which there is a, I'd say, a
8 generation or a value proposition that results in a direct
9 payment back to the inventor or the investor is very
10 different from something that's more an infrastructure
11 play.

12 So a phasor measurement unit or a smart meter or
13 a better inverter for distributed PV is going to have a
14 different financing requirement than something that might
15 be one of these, you know, great new devices that we've
16 all talked about this morning. So it's important to keep
17 that in mind as well.

18 The last thing I'll say is because this system
19 is so very different and because you're dealing with two
20 different challenges the tools are going to be very
21 different. And one of the things that I'll just stress is
22 you may want to think of financial opportunities where
23 you've got multiple parties competing and collaborating at
24 the same time. And by that I mean look at those test beds
25 where you can create, similar to what's being done as West

1 Village, as UC Davis or what Jack spoke about with the
2 renewable energy sustainable communities where you can get
3 multiple people coming into a site with multiple different
4 technologies and you get them interacting with each other
5 as though you're trying to design the 2050 system. But
6 you're doing it today so that you know where are the gaps,
7 what's broken, what's not being financed, where's the
8 business proposition and where does it not exist.

9 We have over 20 different smart grid type
10 projects going on around the world. And one of the
11 biggest lessons we're pulling from those is we don't know
12 what we don't know about how the power system in 2050 is
13 going to work. And that's driving our research activities
14 forward. And, to that end, I might suggest you hold a
15 competition. You say, "Here's what I want this community
16 or this business park or this residential development to
17 look like and act like; not just from energy but from
18 waste and from water." And you invite collaboration from
19 amongst the various parties to put their best foot forward
20 and then you help them go do it.

21 CHAIRMAN WEISENMILLER: Couple of follow up
22 questions. I mean the one thing which I noted to me by
23 actually Michael Shames was the remarkable success of the
24 X Factor or the X Prize types of approaches and so as a
25 state one of the interesting questions would be if there

1 were – and obviously if you look at those there's not
2 necessarily a lot of money in state with the prize as much
3 as the prestige and so, again, trying to figure out where
4 we could do that. And, again, that's something certainly
5 EPRI may want to think also about.

6 The other thing, which I think we're struggling
7 with too on the technology, and obviously the utility
8 industry is not known as one of the more innovative, but
9 that for a long time it was pretty easy to say this is the
10 meter we buy or this is the transformer we buy. And as we
11 were looking at the innovative technologies it's pretty
12 easy to discover you've just discovered a million smart
13 meters which are now no longer state of the art but, you
14 know, trying to figure out what you're going to do with
15 those. So exactly how do we deal with the utility
16 industry when we're trying to deal with innovation? And
17 frankly some of the new technologies that people are going
18 to roll out aren't going to really work –

19 MR. HANNEGAN: Yeah. That –

20 CHAIRMAN WEISENMILLER: Or not be the ones that
21 you really want to have put millions of things out there
22 for.

23 MR. HANNEGAN: Yeah, Commissioner. That's a
24 great point because both on the electric as well as on the
25 water side there's an inherent conservatism in the

1 utilities, and I've seen this on both sides now. Where
2 you're first responsibility is to make sure that the
3 lights are on and the water is available. And your second
4 responsibility is that that's largely being done at the
5 lowest cost possible. That's what the PUCs will demand.
6 And so there's this natural hesitation to bring on
7 something to your system that's got any amount of
8 technology risk whatsoever unless somebody's covered that
9 for you. Either through PPA or what have you. Now I will
10 say we have engaged a number of utilities working with
11 Stanford University and some of the financial interests to
12 try to look at what a shared risk structure might be to
13 commercializing new technologies and moving things that
14 are on the drawing board in the universities or are on an
15 innovator's desk more quickly to market where they sort of
16 pass that, "I'm number 3 in the queue, not number one,"
17 kind of thing. But that's a very difficult thing, I
18 think, for the utilities to get their arms around because
19 I think their sense is that they're not being given enough
20 of a – enough of a direction, enough of a push forward
21 that they can take some risks with rate maker structures
22 with their IRPs, with a variety of different approaches so
23 get more aggressive in the research space.

24 Something like the X Prize approach, which we
25 are looking at out in the mountain West with respect to

1 carbon capture and storage I think is an excellence
2 approach. The challenge there is how do you define the
3 prize. What is it that's large enough for people to take
4 a bite off of and here again when I talk about a
5 competition, you know, maybe an X Prize type challenge for
6 the first zero net energy subdivision or zero net energy
7 university campus. Those are the kinds of things that I
8 think will get people out of the component space and into
9 the system space where we think it's absolutely necessary
10 if you're going to achieve the step change in improvements
11 that we need to in order to be in place by 2050.

12 COMMISSIONER PETERMAN: I'll get offer a related
13 point. So specifically a concern of mine relates to
14 distributed generation technologies. It's the warrant
15 provisions because we were just talking about the risk
16 that the utilities must assume but there's a risk that
17 consumers are assuming by purchasing some of these
18 technologies for which we have not had the experience or
19 history with and to date, you know, knock on wood we have
20 not seen significant difficulties with our DG technologies
21 but figuring out how to – what the appropriate warranty
22 requirement should be, what to do in a space where the
23 competitive landscape is continuously changing and
24 companies are going bankrupt is something that we need to
25 further think about as we're scaling up. And I think the

1 points that were made about these, if you will, these
2 community size, experiments, laboratories in terms of
3 seeing how technologies actually work in progress is a
4 valuable point related to that.

5 MR. HANNEGAN: I'll just add a couple of quick
6 points. One of the ways in which we engineer around the
7 opalescence question is to develop standards for
8 interoperability and communication amongst devices and we
9 at EPRI have worked real hard with that, both in the
10 vehicle space and in the smart grid space so that if there
11 is a need to go in and change something out you're not
12 changing out the whole entire network, you're just
13 changing out that particular component.

14 So sort of building with that planned
15 opalescence in mind is, I think, important. The other
16 point I'll make about the community competitive idea is
17 that'll bring forward interested parties that will be more
18 likely to be technology adopters and in so doing, I think,
19 reduce some of the public pushback that we're seeing on
20 things like wind energy and solar siting and so on and so
21 forth.

22 We've done some interesting studies looking at
23 wind turbine noise so to speak and in communities that
24 have embraced and actually brought projects to their
25 communities. We've seen far less incidents of complaints

1 about subsonic noise. Now we're still very much in the
2 data gathering and the anecdotal stages but one of the
3 theories is if you want it to be there you're less likely
4 to see problems than if it's foisted upon you. And I
5 think there's certainly some instances here in California
6 that attest to that.

7 COMMISSIONER PETERMAN: Thank you. And I'd
8 appreciate it if you could submit the formal record
9 anything you have around the engineering work you've done
10 around addressing opsalence issues.

11 MR. HANNEGAN: Absolutely.

12 COMMISSIONER PETERMAN: That was a good point to
13 raise in the dialogue.

14 CHAIRMAN WEISENMILLER: Yeah. I think it'd also
15 be good if you could raise - I mean, obviously, on the
16 standards for thing like inverters, the home area network
17 - it's really critical to get those right, which also
18 means that may be a number of people complain about the
19 time to do it. So giving us a sense of where we are on
20 those interoperability standards, you know, is also
21 critical. And, again, I realize that everyone would like
22 them done yesterday and as you move forward you keep
23 finding new cybersecurity or other things to worry about
24 while you're doing them.

25 COMMISSIONER PETERMAN: Thank you. I'm aware

1 that we're encroaching on the Public Comment time but
2 would love to hear your summary comments, Lew, or some of
3 your reflections.

4 MR. HOUSE: I just have a few random thoughts,
5 if I might.

6 On the financing issue that Lon raised. I think
7 that if you look to what's happened at the solar bond
8 market in New Jersey, just this is happening. That is you
9 have aggravated – these are public facilities where solar
10 is being put on public facilities with a bond that
11 basically is floated for all of these small installations.
12 So far it's been about \$200 million worth of mini bonds
13 that have been floated for that. It's a model that's
14 worth looking at. I'd be happy to talk to you more about
15 it. I think it might be interesting to try to explore.

16 In terms of the utility obligations and
17 technology innovation, you're probably going to hear from
18 Dan Adler and others later today but I think a combination
19 of an RPS carve out for technology innovation combined
20 with a reverse auction strategy, with an efficacy
21 insurance backstop is at least an approval of policy
22 measures that I think you're going to need to put in place
23 or otherwise it's going to be really hard to do it simply
24 through incentives.

25 In terms of the leasing model I think to do

1 anything to encourage more leasing of all of these
2 technologies because what it does is it shifts the
3 technology risk. I think apart from giving the developers
4 potential access to capital markets I think actually one
5 of the most significant maybe less appreciated elements of
6 this and it's for fuel cells as well is it removes the
7 technology adoption barrier for customers. It shifts the
8 technology on the developers where it belongs. And then
9 perhaps leads to turnover where otherwise it wouldn't.
10 And I guess the last thing I'd say for siting for offshore
11 is find places where major oil and gas developers don't
12 have their second homes sitting there as at the Cape and
13 that at least might get you a long way to moving some of
14 the project. Thanks.

15 COMMISSIONER PETERMAN: Thank you for that.
16 Let's turn to any Public Comment we may have now.

17 MR. ALDAS: Okay. I think it's about time for
18 Public Comments so thank you so much to our panelists.

19 Any comments on the floor?

20 COMMISSIONER PETERMAN: Please come to the mic.
21 We ask that you keep your comments to three minutes or
22 shorter if possible. Thanks.

23 MR. DAY: Hello. My name is Michael Day. I'm
24 with Rockwood Consulting.

25 One of the things that came up was moving the

1 technologies across the Valley of Death and I think that
2 the IEPR has a real opportunity here. And, Commissioner
3 Weisenmiller, you talked about things that are capital
4 intensive. Meaning you really need to have full
5 utilization to be economically viable. But I think
6 there's an opportunity here and it deals with locational,
7 marginal pricing and I understand that this is an
8 intersectional area between you and the PUC. But it is in
9 the IEPR realm.

10 With locational, marginal pricing merchants
11 could deploy different technologies. It could be an auto-
12 DR, it could be energy efficiency. It could be
13 distributed generation. It could be storage if they
14 could gain the avoided cost value that's inherent within
15 certain congestion constrained areas they could make that
16 cost-effective right now. And that would be then
17 available to be contracted via normal supply contracts
18 like you'd buy from any other generator. It'd be a
19 resource. A megawatt resource. But there's some
20 regulatory things that have to happen, you know, to get
21 LMP value. To get ancillary services revenue and variable
22 carbon values on an hourly basis. Some of the evaluation
23 tools need to change. So the E3 calculator right now
24 that's down to the climate zone level needs to go down to
25 the nodal value. Cross silo program values. So if you

1 have an element that's auto-DR, you have an element that's
2 energy efficiency, you have an element that's say low
3 income energy efficient. The ability to construct a
4 program that takes care of all of those and provide that
5 as a merchant, as a resource, and then loading order
6 enforcement. Including it in the long term procurement
7 plan. That kind of stuff can actually make it work.

8 Just a quick example. Trane and Beutler
9 Corporation are working with Edison at looking at
10 deploying evaporative pre-coolers hooked up through an
11 automatic demand response system as a very finely grained
12 dispatchable megawatt resource for load balancing, which
13 is becoming increasingly important as we all know, with
14 the penetration of renewables. But what stands in the
15 way? It's a lot of these functional, policy and
16 procedural issues. Tools that haven't developed on the
17 regulatory side that are preventing merchants that have
18 access to capital from going and deploying that. And then
19 once you get there, you're really kind of technology
20 neutral. You're based on the performance.

21 Commissioner Peterman, talking to your concern
22 about warranty risk. If the merchant is on the hook for
23 providing X amount of capacity and they don't there's
24 liquidated damages and I think that this is really
25 something to get to.

1 And just one last observation for releases. In
2 commercial properties, in offices and retail, you do start
3 running into issues regarding loan covenant so if you take
4 off one piece of equipment, put on something else, there's
5 a subordination issue there that starts getting in the way
6 of a lot of commercial leasing opportunities.

7 Thank you for the opportunity to speak.

8 MR. ALDAS: Thank you.

9 CHAIRMAN WEISENMILLER: Thank you. It's
10 interesting because obviously with the ISO market we do
11 have the nodal on the wholesale side, not retail, but at
12 least – a couple of years ago, at least when I was looking
13 at it, you clearly couldn't see a distinct pattern emerge
14 over the year of where the sweet spots were.

15 I don't know if there's better data.

16 MR. DAY: And there's a lot of data through the
17 Oasis System with CAISO down to the nodal level. We know
18 that there's areas that have very high congestion
19 constraints and very high prices that end up being
20 disproportional impactful for ratepayers. For that
21 matter, they also tend to be pretty dirty on the margin
22 from their emissions. So something that we could do or at
23 least putting it into the IEPR that that's something that
24 we want to work towards. Where that locational, marginal
25 pricing value can be opened up for merchants to deploy

1 mixes of technologies and be graded on their performance
2 is something that I think as a business model makes a lot
3 of sense for us going forward.

4 CHAIRMAN WEISENMILLER: Thanks.

5 MS. MALIN: Good morning. My name is Lisa
6 Malin, I'm with Malin Engineering here in Sacramento. I'm
7 also working with an industry – newly formed industry
8 group to come together and work on some barriers that we
9 see relative to the geothermal heat pump industry and its
10 widespread acceptance here in California.

11 I want to speak in support of keeping the
12 geothermal heat pump technology as part of the renewables
13 package that you're considering. That's one of the issues
14 that we have with the technology, is how to define it.
15 Renewables, distributed generation. But what it does do
16 for us is it helps us to achieve that 33 percent renewable
17 portfolio standard, which is mainly through energy
18 efficiency of that type of technology.

19 Earlier it was mentioned that cost is a major
20 barrier to the technology and while that certainly is a
21 factor there are several other barriers that contribute to
22 that being perceived as the highest barrier to the
23 technology. First of all, their treatment within the
24 California State Energy Efficiency Standards. The
25 technology is not properly modeled within that compliance

1 software and we would like to work toward measures to
2 correct that.

3 There's no state regulation having to do with
4 the geothermal borehole portion in the ground coupling of
5 the technology. There's a draft well standard that's out
6 there currently but it has not been adopted. So there's
7 measures that need to be taken there. General education
8 of engineers, contractors, government and public in
9 general is required relative to the technology. There's a
10 lot of misconceptions about how it works and why it works.

11 And then, finally, the tiered rate structures
12 imposed by the ISOs on all electric systems. Even though
13 we're very efficient, it is an electric system. I would
14 think that it would be perceived as a good technology
15 because it would give you a constant load on the utilities
16 themselves between summer and winter whereas some of the
17 other technologies are not.

18 So just in closing, I'm not asking for funding
19 or incentive. I'm asking you to acknowledge the
20 geothermal heat pump technology is part of the renewables
21 program and would like to ask for your help in lowering –
22 in leveling the playing field so that this technology
23 could gain wider acceptance here in California. Thank
24 you.

25 CHAIRMAN WEISENMILLER: Thank you. What sort of

1 warranties are available?

2 MS. MALIN: On the ground portion or the heat
3 pump portion?

4 CHAIRMAN WEISENMILLER: Both.

5 MS. MALIN: The heat pump typically, depending
6 on the type of warranty you purchase, 5 years to 10 years
7 on the equipment which is in line with the other type of
8 HVAC equipment that is out there.

9 On the ground loop portion it can be anywhere
10 from 25-50 years on the pipe. Again, it depends on the
11 manufacturer.

12 CHAIRMAN WEISENMILLER: Thanks.

13 MS. MALIN: Mm-hmm.

14 MS. WINN: Good morning. Valerie Winn with
15 PG&E. A couple of things that I wanted to touch on here.
16 I know there's been a lot of discussion of the WaveConnect
17 Project and PG&E's involvement in that. And, you know,
18 we've had a lot of different discussions and I think
19 whenever there's a new technology and you're trying to
20 move it forward for an individual company to take on that
21 obligation when it's unknown what will be required
22 financially. That was, you know, one of our challenges
23 that we reached. Although it could be an opportunity for
24 the state and the CEC with its permitting authority to
25 perhaps look at opportunities to partner with different –

1 with other agencies and companies using some of the
2 research dollars to perhaps permit a site and then
3 consider auctioning off opportunities to put developments
4 there.

5 So that something that could be a way to
6 actually move some of those WaveConnect items forward
7 without an individual company taking on that financial
8 responsibility.

9 Secondly, I did want to talk about feed-in
10 tariffs and other things that have been mentioned as
11 opportunities to move things forward. You know we already
12 have a variety of procurement mechanisms available and we
13 know that, you know, in the RPS arena the focus has been
14 on, you know, what is the lowest cost to customers.

15 So fundamentally we are opposed in the RPS arena
16 for creating technology carve outs and status size might
17 be a better use of R&D funds but, you know, let's not call
18 it a renewables procurement program if it's really
19 incentives and ways to incent new technologies.

20 And we have actually had conversations over the
21 last few years in my former position in our renewable
22 energy group with water agencies on their in-conduit
23 hydro. And one of the challenges, you know, that we're
24 running into is perhaps sometimes water agencies might be
25 looking for a three of four year payback on the project

1 whereas our customers, if we were investing in a project
2 there's, you know, the 30 year useful life, period.

3 So I think there needs to be some balancing as
4 we look at what might be a win-win situation so that
5 electric customers don't end up subsidizing customers or
6 water agencies. I don't think that creates the right
7 value proposition for the state.

8 Thank you. Happy to answer any questions.

9 CHAIRMAN WEISENMILLER: Yeah. I just thought.
10 Thank you. I mean, I was actually going to say I don't
11 know why you're giving the scale of PG&E to the extent
12 that the commercialization was beyond your obligation and
13 I'm looking around the room trying to figure out who else
14 is bigger that can take on some of the technology stuff.

15 [LAUGHTER]

16 CHAIRMAN WEISENMILLER:

17 MS. WINN: The State of California.

18 CHAIRMAN WEISENMILLER: The State of California.
19 But, I guess, in the fuel cell context there is some
20 discussion of biomethane injection of biogas injection in
21 the pipeline. So I wasn't sure if you wanted to say a few
22 words on that?

23 MS. WINN: Well -

24 CHAIRMAN WEISENMILLER: Or least some of the
25 risks there?

1 MS. WINN: We've had, you know, a number of
2 conversations over, I'd say, the last year on biomethane
3 in pipelines. And it's really very dependent on the type
4 of biomethane. We had some initial success with dairy
5 biomethane and were able to get that to a point where it
6 could be tested consistently and injected into the
7 pipeline.

8 I know Commissioner Peterman is very familiar
9 with a lot of the (indiscernible) gas issues that we've
10 encountered and our concerns about the safety of our
11 pipeline and whether landfill gas which has unknown
12 constituents in it because it's highly, you know, highly
13 variable. Whether that can be safely injected into our
14 pipelines.

15 And so more discussions will be - are continued
16 - well discussions are continuing on that issue.

17 COMMISSIONER PETERMAN: Yea. Thank you. Do we
18 have any comments on the phone?

19 MS. KOROSK: I do want to open the phone lines
20 only so that we can see if anyone there wants to make a
21 comment.

22 COMMISSIONER PETERMAN: Please, do. They're all
23 scrambling for -

24 MS. KOROSK: I know. Our phone lines are open
25 if either of our phone callers would like to make a

1 comment? All right. Thanks. We have no WebEx questions.

2 COMMISSIONER PETERMAN: Okay. Thank you for all
3 the public comment. In the interest in keeping us on time
4 with this Workshop I'll recommend that we wrap up.

5 Thank you to all the panelists for your
6 comments. Please – we have your presentations. If
7 there's anything else you want to submit it to the record
8 will be read and considered. And with that, thank you
9 also to our moderator Rizaldo Aldas for excellent job and
10 we will reconvene at 12:30. So enjoy your lunch.

11 (Off the record at 11:32 a.m.)

12 (Back on the record at 12:39 p.m.)

13 MS. KOROSK: All right. I think that, even
14 though it's a little thin in the room, we'll go ahead and
15 get started and let people trickle in from lunch as
16 they're finishing up.

17 So we're going to our second panel on financing
18 and investors and our moderator is Larry Rillera. Larry?

19 MR. RILLERA: Good afternoon, everyone. My name
20 is Larry Rillera. I'm staff here at the Energy
21 Commission.

22 Panel number 2 will focus on financing and
23 investment. We will explore the current status of project
24 finance, innovative financing strategies, and creative
25 opportunities to provide capital. The panel will provide

1 perspective on such issues as Emerging Technology Reverse
2 Auction Mechanism, efficacy insurance, debt financing,
3 incentives, and renewable financing best practices.

4 What we will do is go around the table first in
5 a couple of minutes to introduce yourself, your
6 organization and then we will go to the phone for some of
7 the other presenters that are here remotely.

8 Deana, did you want to start us off?

9 MS. CARILLO: Great. Good afternoon. My name
10 is Deana Carillo and I'm the Manager at CAEATFA. It's a
11 glorious acronym but it's better than the California
12 Alternative Energy and Advanced Transportation Financing
13 Authority, which gets really wordy. So we'll stick with
14 the acronym of CAEATFA.

15 We're a small state financing agency, housed in
16 the State Treasurer's Office. We are governed by five
17 Board Members: the State Treasurer, the State Controller,
18 the Department of Finance, the California Energy
19 Commission and the Public Utilities Commission.

20 CAEATFA has a long history from the '80s where
21 we issued a number of different bonds from the Clean
22 Renewable Energy bonds as well as some of the more recent
23 Qualified Energy Conservation Bonds, or QCEBS. And then
24 we went dormant for a little while when the Federal Tax
25 Code changed.

1 Most recently we have been implementing our SB-
2 71 program where CAEATFA provides a sales and used tax
3 exclusion for green manufacturers. So the manufacturers
4 of the solar panels. The manufacturer of the wind mill,
5 engines and all those components that go to green
6 manufacturing.

7 That legislation was authorized in 2010 and
8 since then we've approved over 44 applications for private
9 companies. Over \$1.1 billion in equipment. Of those 44
10 applications only 35 are moving forward today. One other
11 interesting thing to note is that the authorizing state
12 statute for SB-71 requires us to do a net benefit of each
13 project to ensure that the sale taxes exclusion lost to
14 the state. That the benefit of the project outweighs that
15 so we actually go through the exercise of quantifying both
16 the fiscal and the environmental benefits of the project.
17 We anticipate that those 44 applications will lead to
18 almost 6,000 jobs in California over the next three years.
19 They have a value of \$12.3 million in fiscal benefits and
20 about \$22 million in environmental benefits. And that
21 last figure was a little off. So I'll get back to you on
22 that one in case anyone has any questions. But that's a
23 little overview of CAEATFA.

24 MR. RILLERA: Roma?

25 MS. CRISTIA-PLANT: Thank you, Larry. I'm Roma

1 Cristia-Plant. I'm the Assistant Executive Director of
2 the California Infrastructure and Economic Bank. And
3 while we have bank in our name we're not a depository
4 institution. We're actually a statewide financing
5 authority. We're a general purpose financing authority
6 under the auspices of the Governor, and we have a staff of
7 24. And we have broad statutory authority to provide
8 various kinds of financing such as bonds, loans, loan
9 guarantees, insurances, grants and the ability to leverage
10 state and federal funding.

11 We have a five member board that approves all of
12 our finances. The Secretary of the Business
13 Transportation and Housing Agency is the chair of our
14 Board. Also on the Board are the Secretary of the State
15 and Consumer Services Agency, the State Treasurer, the
16 Director of the Department of Finance and one Governor
17 Appointee.

18 Our financings are specifically focused on
19 economic development and the creation and retention of job
20 opportunities while promoting the health, welfare and the
21 safety of the citizens of the state.

22 Unless otherwise directed our financings are for
23 facilities. Economic development facilities, which are
24 typically privately owned facilities, as well as public
25 development facilities.

1 Back in 1999 and 2000 the I-Bank was given a net
2 appropriation of about \$180 million to fund programs and
3 the bulk of that went into an infrastructure loan program
4 that we had, and I'll talk about in a minute.

5 We do not rely on any general fund revenues.
6 We're self supporting and we rely on fee income and
7 interest income.

8 We're also exempt from regulations. The framers
9 of the I-Bank Act wanted the I-Bank to be a nimble
10 financing authority so we produce criteria priority and
11 guidelines or policies and procedures for any programs
12 that we have.

13 Currently our programs consist of an
14 infrastructure state revolving fund program and we
15 abbreviate that as ISRF and it's a direct low-cost loan
16 program to local governments for a wide variety of public
17 infrastructure, almost anything that you can think of
18 except for housing. And there's already a state financing
19 authority that does housing.

20 We started in 19 – with the first loans in 2000
21 with about \$162 million in capital. We've issued about
22 \$150 million in bonds to leverage that program. And, to
23 date, we've made over \$400 million of loans to local
24 governments for public infrastructure.

25 One category of public infrastructure that can

1 be financed in that program is called Powering
2 Communications. And that's distribution and we've
3 interpreted that category to also include generation.

4 The loan program is a middle market, what I
5 consider a middle market program. The local governments
6 have to demonstrate repayment ability so those that cannot
7 demonstrate repayment ability should be looking for the
8 grant funding out there. And then those at the other end
9 of the spectrum who have been in the bond market before
10 and can obtain bond financing on reasonable rates and
11 terms should most likely be back in the bond market again
12 because this is a subsidized loan program.

13 The underwriting criteria though is slightly
14 more lenient than that approved in the bond market. And
15 the credit criteria was approved by the rating agency
16 before the first loan was ever made.

17 On the other half of the house we're a what's
18 called a conduit bond issuer, which means that we issue
19 bonds on behalf of someone else. We have the authority to
20 issue tax exempt bonds. Go into the bond market, obtain
21 capital from private investors and then provide that
22 capital over to another entity. One main business loan
23 program that we have on the conduit bond side is the
24 industrial development bond program. We are the only
25 state entity that issues and does true development bonds

1 and those are bonds up to \$10 million for a qualified
2 manufacturing or processing business to purchase buildings
3 or construct buildings and purchase equipment.

4 We also issue tax exempt conduit bonds for
5 501(c)3 organizations, usually, typically these
6 organizations are research or cultural oriented and the
7 bond funding is for them to construct their facility so
8 that they can continue to provide their non-profit
9 services.

10 We also issue bonds for other state entities and
11 we have leveraged the Energy Commission's Energy
12 Conservation Act Revolving Loan Program twice for you in
13 the past. And we've also leveraged a state revolving fund
14 over at the State Water Resources Control Board, the Clean
15 Water State Revolving Fund. That's a U.S. EPA-funded loan
16 program that finances wastewater infrastructure.

17 We've also issued bonds to finance the east span
18 of the Bay Bridge and we also provide other financings at
19 the request of the legislature such as tobacco
20 securitization.

21 Lastly, I wanted to just tell you that there is
22 - the Governor's proposal to move the Infrastructure Bank
23 over to the Governor's Office of Business and Economic
24 Development. And this move is anticipated to further
25 provide synergies in assisting businesses and improving

1 the state's economy.

2 Thank you.

3 MR. RILLERA: We have a – oh, excuse me.

4 CHAIRMAN WEISENMILLER: One of the things that I
5 wanted to – my recollection was that when the utilities
6 did the securitization bonds that at least that was a
7 structure consistent with yours?

8 MS. CRISTIA-PLANT: Say that again?

9 CHAIRMAN WEISENMILLER: Well as part of 1890 the
10 utilities issued –

11 MS. CRISTIA-PLANT: Oh. Yes.

12 CHAIRMAN WEISENMILLER: Did securitization
13 bonds.

14 MS. CRISTIA-PLANT: Those were the – Thank you.

15 CHAIRMAN WEISENMILLER: Okay.

16 MS. CRISTIA-PLANT: Those were the very first
17 bonds ever issued by the I-Bank and those were the rate
18 reduction bonds. Large amount but that was the very first
19 official bonding activity of the I-Bank. You are correct.

20 CHAIRMAN WEISENMILLER: Yeah. And so could you
21 describe to us how the securitization worked for those
22 bonds?

23 MS. CRISTIA-PLANT: You know what? I wasn't
24 with the I-Bank at the time. But what little I know is is
25 that all of us ratepayers paid a special fee on our

1 utility bill and that was collected to repay those bonds.

2 CHAIRMAN WEISENMILLER: And so –

3 MS. CRISTIA-PLANT: That’s about all I know.

4 CHAIRMAN WEISENMILLER: Okay. I was going to
5 say. You might try to get some information – basically,
6 the securitization, I mean, the reason that they did that
7 is because it was a very low cost option and that was a
8 way for the state to get involved and get the cost down.
9 But as you said, it had to have, basically, a dedicated
10 fee associated with that. But certainly, you know, there
11 are other things we might do securitization bonds for
12 other than what we did then.

13 I guess the other question was my recollection
14 too was that some – the other financing thing some
15 entities have done like the City of San Diego issued two
16 county – basically IDBs under the two county rule, which
17 were then used to finance SDG&E infrastructure, Southwest
18 Powerlink and some other gas distribution system. My
19 recollection was that the two county rule bonds are no
20 longer viable. Is that correct?

21 MS. CRISTIA-PLANT: You know, I don’t know
22 anything about the two county rule bond rule because the
23 I-Bank is a statewide bond issuer and we can issue in
24 projects in several counties. And I don’t know that we’re
25 subject to that rule.

1 CHAIRMAN WEISENMILLER: Thanks.

2 MR. RILLERA: Thank you, Roma. We have a
3 correction to our next presenter in the house. Jesse
4 Jones who is with CleanPath representing Matt Cheney. Go
5 ahead, Jesse.

6 MR. JONES: Good afternoon. CleanPath is a
7 mezzanine debt development equity and construction equity
8 capital provider to renewable energy projects. We are
9 effectively a development shop. It's the third iteration
10 of a 10-year old energy development and finance platform
11 that was started as an MMA Renewable Ventures transitioned
12 into Fotowatio and then the Fotowatio team came with Matt
13 Cheney the CEO of Fotowatio at the time to form CleanPath.
14 It's about a 2 ½ year old company that raised funds of – a
15 revolving fund of several hundred million dollars to
16 deploy capital into the market.

17 We will develop projects through to COD. We
18 have several different products that we offer. We do
19 sales to IPPs at COD. We hold projects past the tax
20 advantage period for five years of operations and then
21 sell them on to those people that can't monetize tax as
22 tax equity investor. And for certain projects we will
23 hold them and warehouse them for term.

24 CleanPath has executed on several large-scale
25 utility projects as well as now, like many developers,

1 moving to shift to meet the emerging, middle and
2 industrial market, which I'll speak more about as we get
3 into the questions.

4 MR. RILLERA: Great. Thank you, Jesse.

5 CHAIRMAN WEISENMILLER: What was the size of the
6 utility scale that you did in terms of dollars?

7 MR. JONES: In dollars? In terms of dollars?

8 CHAIRMAN WEISENMILLER: Yeah. I'm just trying
9 to understand -

10 MR. JONES: It's not done yet.

11 CHAIRMAN WEISENMILLER: Okay. We're just trying
12 to understand the size -

13 MR. JONES: Okay.

14 CHAIRMAN WEISENMILLER: Of what you meant by
15 utility scale.

16 MR. JONES: The size in terms of dollars? Well,
17 utility scale for us is anything that happens in front of
18 the meter that has a direct revenue contract with one of
19 the utilities. Whether it's municipal or one of the
20 investor-owned utilities.

21 So typically those take the form of between 5
22 and 20 megawatt projects here in the state of California.
23 But there are those that we have participated in that are
24 much larger.

25 CHAIRMAN WEISENMILLER: Okay. Thanks.

1 MR. RILLERA: Paul Frankel, are you on the
2 phone?

3 MR. FRANKEL: Can you hear me?

4 MR. RILLERA: Paul? Are you here?

5 MR. FRANKEL: I am here.

6 MR. RILLERA: Paul. Welcome.

7 MR. FRANKEL: Yes. I am. Thank you. Thank you
8 for having me and inviting me to participate in this
9 meeting. I'll just take a couple of moments and introduce
10 CalCEF.

11 We are a fund of funds that has a very unique
12 origin. Some of the folks in the audience may be familiar
13 with our work and story. We were actually created as a
14 condition of the bankruptcy organization of PG&E back in
15 2001 or so.

16 The CalCEF officially formed in 2004 with a
17 directed corporate grant from PG&E shareholder money and
18 we have a \$30 million corpus that we use to actually
19 invest in clean energy market expansion and the
20 acceleration of two clean energy technologies in
21 California.

22 We do that by a product development analysis and
23 research method. We look at underserved high potential
24 impact, high potential profit segments of clean energy
25 markets. We try to understand at a very granular level

1 what is preventing capital from potentially flowing into
2 those markets, commensurate with the opportunity and we
3 were first mover to actually create new implementation
4 vehicles that solved those problems and put our money on
5 the table first so that we can entice other private
6 capital participants to participate alongside us and solve
7 these problems.

8 We've done this a few times looking at the need
9 for mainstream investment from the venture capital
10 community into clean energy technologies as an asset
11 class. That happened back in 2005 when we made our
12 initial investments. In 2007 we actually created a De
13 Novo fund that is a separate for profit venture, capital
14 firm that's focused on feed stage investment called the
15 CalCEF Clean Energy Angel Fund.

16 And we're currently in the process of developing
17 some new funds around the area of tax equity for large
18 renewable generation projects and energy efficiency
19 financing.

20 We are a completely independent entity. We're
21 not part of the state government. We're not part of PG&E.
22 We are a combination of both a 501(c)3 and a 501(c)4.
23 Although, as I mentioned before, we are an investment shop
24 as well, which means that just because we're a non-profit
25 organization doesn't mean that we don't try to generate

1 profit. It just means that we don't try to distribute our
2 profits because we don't have any shareholders or any
3 managing members.

4 But we like to think of ourselves as kind of the
5 connective tissue between the marketplace and the policy
6 place and happy to contribute what we can here to this
7 conversation.

8 MR. RILLERA: Great. Thank you, Paul. Seth
9 Miller from DBL Investors. Seth? Are you on the line?

10 MR. MILLER: Yes. Hi.

11 MR. RILLERA: Great.

12 MR. MILLER: Yes. I am on the line. I'm a
13 partner at DBL Investors. We're a venture capital fund
14 based in San Francisco with about \$225 in our management.

15 We invest in a number of different sectors but
16 of the 29 investment we've done to date since 2004, 12 of
17 those are in what would be considered cleantech
18 investment. And that's been anything from utility scale,
19 power generation to residential or distributed power
20 generation, wind advanced storage, electric cars and
21 biochemicals.

22 A number of our companies have taken advantage
23 of creative financing for the cleantech space. And we are
24 definitely big proponents of this type of creative
25 thinking because it's important to help the type of

1 companies we invest in push the envelope of technologies
2 that will help us solve these problems find cheaper energy
3 with cleaner impact and help create jobs in America, and
4 help us keep leadership position in industries that we've
5 created.

6 MR. RILLERA: Great. Thank you, Seth. John
7 Marciano, are you on the line? John?

8 MR. MARCIANO: I am. I am.

9 MR. RILLERA: Great. Welcome.

10 MR. MARCIANO: Hello. My name's John Marciano.
11 I'm with Chadbourne and Parke. We're a 109 year old law
12 firm based, I guess, originating from New York City but
13 I'm in Washington D.C.

14 We focus a lot of our energy on the independent
15 power industry. We have 80 lawyers that do that. We're
16 primarily, if not exclusively. We were one of the
17 pioneers in opening up the U.S. independent power industry
18 by taking a number of cases to the Supreme Court and then
19 litigating a couple over 20 states to, essentially, allow
20 independent power to flourish in the '80s.

21 What we do today is focus about $\frac{3}{4}$ of our time on
22 renewable energy as the wave of renewables move forward.
23 We're on 17 of 18 large scale utility deals last year.

24 We financed over \$20 billion in projects in some
25 capacity. We're always happy to assist in trying to bring

1 in more individuals or companies or entities to the table
2 in terms of financing or development or however we can
3 help. So happy to be here.

4 MR. RILLERA: Great. Thank you, John.

5 CHAIRMAN WEISENMILLER: John, this is Bob
6 Weisenmiller. Thanks for participating today.

7 MR. MARCIANO: Sure.

8 CHAIRMAN WEISENMILLER: I guess the thing that I
9 just wanted to swing back on. The deals you were involved
10 in last year to try to get a sense of the typical in terms
11 of size, the technology and where the money was coming
12 from.

13 MR. MARCIANO: Right. I can't say that there's
14 a typical deal in terms of size because we were on deals
15 as small as, probably, 10 kilowatts in terms of the small
16 residential distributed solar deals all the way up to \$3
17 billion solar funds or wind funds so it's really all over
18 the place.

19 I would have to say though that the technology
20 is focused almost exclusively on solar and wind.
21 Geothermal, biomass, fuel cells. Those technologies are
22 all doing very well but they're, at the moment, a much
23 smaller component of the overall renewables industry.

24 CHAIRMAN WEISENMILLER: And at this point in
25 terms of the investors, you know. Over time these sorts

1 of things –

2 MR. MARCIANO: Sure.

3 CHAIRMAN WEISENMILLER: Bounce around from the
4 Japanese banks to the European banks – anyway, I’m trying
5 to understand who’s in the market at this stage.

6 MR. MARCIANO: Sure. So traditionally the
7 renewable power projects have been financed through tech
8 equity investors since a lot of the projects benefit from
9 federal tax incentives and those investors are typically
10 investment banks, pension funds or not so much recently
11 but pension funds in the distant past, insurance
12 companies. Almost all of them are domestic although we’ve
13 seen a lot more activity from Japanese banks with U.S.
14 presence. From some European banks with U.S. presence
15 although over the last couple of months they’ve pulled
16 back a bit.

17 We’re always trying to find new investors. This
18 year we’ve seen a number of new corporate investors come
19 into those markets. Google, for one, has been very
20 active.

21 CHAIRMAN WEISENMILLER: Any pension funds
22 involved?

23 MR. MARCIANO: There are. They’re not typically
24 involved in the investment of projects. They typically
25 invest higher up in the ownership chain at the developer

1 level as cash equity.

2 CHAIRMAN WEISENMILLER: Okay. And one of the
3 things that people are talking about this morning is sort
4 of the bond market or at least trying to compare the
5 scale. And, obviously, we've got tens of billions as
6 opposed to the – and trying to figure out how to crack the
7 bond market. And talking about when the rating agency
8 moved in and the 144A's were used but in terms of it at
9 this point I'm assumed that the technology risk is such
10 that the bond markets and rating agencies are in a not in
11 the solar wind space?

12 MR. MARCIANO: Not at the moment. There's been
13 a lot of talk about securitizations of solar assets and
14 there's a big push to get the rating agencies to come in
15 and do a rating so we can do those securitizations.

16 Everyone in the market that I've talked to in
17 terms of securitization players and other industries have
18 been saying that we're playing a year or two off. But it
19 is looking like distributed solar will move into a
20 securitization type setting.

21 CHAIRMAN WEISENMILLER: Okay. And it sounds
22 like part of what you're doing even at the 10 kilowatts is
23 helping some of the entities finance, I'm going to say,
24 residential or at least small scale solar?

25 MR. MARCIANO: Yeah. If you have a small solar

1 project it's typically wrapped up in a larger fund.

2 CHAIRMAN WEISENMILLER: Right.

3 MR. MARCIANO: Those small projects need to be
4 pushed into a fund if you want to get a tax equity
5 investor interested that's probably at least \$10 million
6 worth of investment from the investor. More typical
7 though is \$50-\$100 million and we're seeing some funds
8 recently as much as \$200 million. And it really goes to
9 show that the renewables, at least in the West,
10 distributed solar is really catching on with homeowners.
11 They're getting very into it and some of our clients are
12 signing up 1,000 plus contracts a month.

13 CHAIRMAN WEISENMILLER: And, you know, I know –
14 I guess at one point (indiscernible) was looking a lot too
15 at the biofuels area on the financings there. What's
16 going on in that area? This may be one of your partner's
17 –

18 MR. MARCIANO: Yeah.

19 CHAIRMAN WEISENMILLER: If anything.

20 MR. MARCIANO: Biofuels were very hot in 2006-
21 2007 and a little bit of 2008. As natural gas prices came
22 down and as the oil prices came down it really tanked. At
23 the same time those prices came down, corn prices went up.

24 CHAIRMAN WEISENMILLER: Right.

25 MR. MARCIANO: We've never really been able to

1 capitalize on the cellulosic biofuel market. A lot of our
2 clients that we've been working with have struggled to put
3 those projects online. Although, there are a few that are
4 in the works and at least one of them is working with the
5 DOE on a loan guarantee.

6 CHAIRMAN WEISENMILLER: Yeah. We've been sort
7 of dealing with - as you know, because you're right, those
8 projects tended to, as prices change, go into bankruptcy
9 and try to come out in this stage.

10 MR. MARCIANO: Right. One of the problems that
11 you find with them is that you don't have long-term off
12 take contracts like you do with electricity.

13 CHAIRMAN WEISENMILLER: Right.

14 MR. MARCIANO: Because with electricity you
15 could find an off take contract for 20 years with a good
16 off taker. You might get one for a year but biofuels.
17 You might talk to the military and they have a set number
18 of gallons they need for a year or two years.

19 That doesn't get you enough to push your project
20 across the line in a lot of cases. Coupled with that is
21 the tax credit center available for those projects. They
22 sunset every year so you don't have any consistency. You
23 can't have a tax equity investor come in thinking they'll
24 put in a large chunk of change today with a guarantee of
25 getting tax credits over the next few years because you

1 just don't know that they'll be there.

2 CHAIRMAN WEISENMILLER: So, I guess, basically
3 it's (indiscernible) in monetizing the losses from before.

4 MR. MARCIANO: Yeah.

5 CHAIRMAN WEISENMILLER: Yeah. This thing struck
6 me as hard, as you may remember, in the cogen side we have
7 gas and power and unless you can figure out something you
8 can get killed pretty quickly from the two moving in
9 different directions.

10 It seemed endemic to here is that you can't
11 build any sort of spark spread kind of structure that
12 guarantees your profitability over time.

13 MR. MARCIANO: Right. You see a little bit of
14 that with the SREC Market. Even with electricity.

15 CHAIRMAN WEISENMILLER: Yeah. What about, I
16 mean – I guess the other thing people are looking at as a
17 potential large market would be energy efficiency
18 retrofits. And that's probably much more in the CPUC
19 court as they try to deal with the financing at this
20 stage. But my impression is certainly there's some
21 interest at the financial markets and trying to provide
22 the capital for that.

23 MR. MARCIANO: We've done a couple deals with
24 energy efficient improvements for street lamps in a couple
25 of municipalities. Mostly with lighting it seems.

1 CHAIRMAN WEISENMILLER: Okay.

2 MR. MARCIANO: Not so much with heat recently.

3 CHAIRMAN WEISENMILLER: Right. So it'd be
4 interesting because obviously we're trying to move forward
5 on an LED rollout so lots of opportunities there for
6 change.

7 COMMISSIONER PETERMAN: Hello. This is
8 Commissioner Peterman. Can you speak to the challenges
9 you're seeing with the SRECS market? Just elaborate on
10 that point.

11 MR. MARCIANO: Sure. I almost caught myself
12 when I said it, I should have said SRECs markets. There's
13 multiple markets. Each state has their own. The ones
14 that are most hot at the moment or the last few years have
15 been New Jersey and Massachusetts.

16 New Jersey's SREC is on the spot market were
17 trading at \$600 + per SREC just two years ago and now
18 they're down under \$100. The difference in cash flow to
19 projects is just striking. A lot of the projects that we
20 were working on almost didn't even need to sell power
21 because the SRECs were so valuable.

22 So people are having to actually go back to the
23 basics, at least in New Jersey and think about how their
24 projects pencil without the SRECs or without a guarantee
25 of the SRECs.

1 There are no long-term contracts of any merit;
2 you can get them with aggregators that don't really have
3 the balance sheet to stand behind them on the long term.
4 Massachusetts is much higher recently. Their prices are
5 higher. They have sort of a floor on their SRECs so that
6 investors and lenders can get semi-comfortable with what
7 the pricing downside might be, although if not people call
8 it a soft floor. It's not so fixed.

9 It's really hard to get investors or lenders to
10 come into a deal with the promise of SRECs unless you do
11 have a really tight floor on what the price might be.

12 COMMISSIONER PETERMAN: And is the situation in
13 New Jersey that they just had over supply over the last of
14 years or more supply?

15 MR. MARCIANO: That's right. It was too
16 successful.

17 COMMISSIONER PETERMAN: Okay. I can't recall
18 exactly how that policy is structured in New Jersey. Is
19 it a percentage of RECs needed for RPS compliance annually
20 or is it a set megawatt target for solar?

21 MR. MARCIANO: It's annual. Each utility has a
22 certain amount of renewable energy that it needs to have
23 in its portfolio each year.

24 COMMISSIONER PETERMAN: Okay.

25 MR. MARCIANO: It shows that by providing SRECs

1 to really just a certificate that shows one megawatt hour
2 of renewable energy was produced.

3 COMMISSIONER PETERMAN: Thanks.

4 MR. MARCIANO: Yep.

5 CHAIRMAN WEISENMILLER: What about greenhouse
6 gas emissions? Or cap and trade programs? How is that
7 factoring in, if at all?

8 MR. MARCIANO: I haven't seen it factor in at
9 all, yet. Except to the extent that certain people are
10 trying to qualify for the federal tax incentives for
11 securitization of carbon - carbon dioxide. Those programs
12 are not really operating as efficiently as they could.
13 There's a couple of items of uncertainty as to how you
14 could qualify for them that are holding the industry back.
15 As far as cap and trade, that whole issue seems to be
16 essentially dead for the moment at the hill. That's what
17 we're hearing from the members that we talked to.

18 CHAIRMAN WEISENMILLER: What's your sense -
19 what's the current prognosis on the production tax credit?
20 Or extension or any type of -

21 MR. MARCIANO: Right. So the Production Tax
22 Credit we're hearing somewhere above 50 percent changes of
23 an extension. It won't happen before the election. It
24 might happen before the end of the year in a lame duck
25 session but it really depends on whether the Republicans

1 can do well in the electric. If they don't do very well
2 they won't have any incentive to come and do a lame duck
3 session where they can come together and actually pass
4 something. The wind industry that we work heavily with
5 has slowed down slightly. I was just at the AWEA
6 Conference, the American Wind Energy Association
7 Conference in Atlanta in Monday. I was told that the
8 turnout was a little bit less than last year. It's some
9 like 60-70 percent of the turnout from last year. So
10 there's a little bit of - I guess people are not that
11 optimistic but they're still out there. They're still
12 trying to get deals done.

13 CHAIRMAN WEISENMILLER: Right. Thank you.

14 MR. MARCIANO: Thank you.

15 MR. RILLERA: Thank you, John. I think what
16 we'll do is turn our attention to the questions.

17 The first question what is the current status of
18 project finance for renewable technologies? Discuss
19 boom/bust finance cycles and how the capital markets are
20 responding.

21 Jesse? Please.

22 MR. JONES: Sure. Well, it's a bust right now,
23 right? So I guess it depends on how do you define bust?
24 If you're looking at the large-scale utility market, big,
25 renewable energy projects, then I'd say yes. As stated

1 before in the DG market things are doing well,
2 Specifically in California. But there are some technical
3 limits to what can be accomplished there. Both
4 financially and physically from a risk perspective and
5 from whom can apply for and get financing for projects on
6 their homes.

7 The way that – how our capital markets are
8 responding. I think capital markets are looking to see
9 what products come forward from developers or policy
10 makers so that they can find a place to invest.

11 In California, and maybe I'm jumping ahead, but
12 in California, we see on-bill financing, PACE financing
13 and virtual net metering, which is SBA 43 which is the
14 Wolk Bill sponsored that CleanPath has sponsored.

15 All three of those are mechanisms that kind of
16 open up the middle market, which has been, we feel, the
17 largest opportunity for growth and serves the needs of the
18 consumer more than a lot of the other large scale
19 renewable projects that are founded in RPS. When you look
20 at what I call not DG but industrial applications for
21 renewable energy. And we look at energy savings, power
22 saving and demand response. There are direct and
23 immediate benefits that you get in that market. The
24 problem is is that there's really difficult to underwrite
25 to the middle market, to the commercial market because of

1 the credit risk associated with it.

2 When we look at PACE financing or virtual net
3 metering, virtual net metering is effectively decoupling
4 the source of energy from the host facility and being able
5 to build what would typically be utility scale plants
6 scale but having multiple investors buy in over the
7 existing utility grid, making energy fundable and having
8 those contracts be liquid so that one person could come in
9 and out of a contract if they choose to move them forward
10 and/or they could sell the rights of a contract or move
11 that contract from one facility to another if their
12 business moves.

13 We see that as a solution and those types of
14 programs are popping up in numerous states. There's one
15 that exists in Massachusetts, which is finding a difficult
16 time getting third party finance investors because it's
17 got a floating rate. There's no floor. There's no fixed
18 rate to it.

19 And then in Colorado it's being offered by Xcel
20 in what is a true community solar structure or virtual net
21 metering structure but the incentives are still for much
22 smaller projects so and the caps are small for the
23 program. So the scale isn't being realized.

24 So I think that for something like on-bill
25 financing for energy efficiency, I think that the

1 financing capital markets will respond well it's just that
2 the adoption from the consumer has been slow. I think
3 that people are a little bit gun-shy for hearing that
4 things are just going to provide them huge savings for
5 years and years and years now and there hasn't been a lot
6 of proof to that. And especially when financing in
7 capital markets are offering it. But I think that is a
8 good program. That is a good policy to move forward.
9 PACE financing has gotten some legs in the commercial
10 space and middle market. And we've seen a few projects
11 financed. I think everybody understands what PACE
12 financing is in the crowd. If not, it's a means to
13 effectively underwrite to the property value of the site
14 rather than to the credit risk of the host. The increase
15 that you pay from the loan you may get from the
16 municipality, the payback is through an increase in your
17 property tax.

18 So if the underwriter could look to a variable
19 increase in the property tax they know that over term
20 they're always going to receive compensation, whether or
21 not that house goes into foreclosure or that business goes
22 away, whether the bank owns the note or another person
23 does. They always have to pay their property taxes. So
24 Ben Franklin, right? The only thing certain is death and
25 taxes. So if you could underwrite to the tax on the

1 property then you could meet the middle market.

2 So I'd say the way that the capital markets are
3 responding is that they're really trying to find an
4 opportunity to invest. When you look at renewables
5 globally and here in the United States, this behind the
6 meter industrial DG market really does offer the most
7 opportunity for growth as consumers and ratepayers and
8 utilities meet their RPS and actually, you know, just
9 looking at probability analysis of a P80 or even a P70.
10 They're much in excess of the RPS in many states, again,
11 having a too - often times maybe a too successful program.

12 So I'd say that's my take on it.

13 CHAIRMAN WEISENMILLER: Yeah. Do you have any
14 sense of what the default rates are on on-bill financing?
15 Obviously there's the public sector and the non-public
16 sector. So trying to understand the private sector
17 default rates.

18 MR. JONES: I don't. I mean right now less than
19 one percent of all consumers participate. So you'd be
20 talking about the default, the percentage of one percent,
21 and I'm not aware of what it is right now.

22 MR. MARCIANO: Are we talking about distributed
23 solar when we're talking about the default rate?

24 CHAIRMAN WEISENMILLER: Yes.

25 MR. MARCIANO: From the discussions that I've

1 had with our distributed solar clients it's almost 0
2 default rates because the last thing people want before
3 they – almost before they move out of their house in a
4 foreclosure is to turn the lights off.

5 MR. JONES: I would say the caveat to that is
6 most people can get distributed solar unless they have a
7 FICO score of 800 and a south facing – I mean the
8 technical limitations to who can achieve a residential
9 scale solar system on their house is self-limiting. So
10 the reason that you don't have a lot of default – I
11 thought we were talking about energy efficiency. The
12 reason you don't have a default in the residential solar
13 space very often is you need near perfect credit to
14 participate.

15 MR. DAY: Michael Day, Rockwood Consulting –

16 MR. MARCIANO: So 7-730 is the minimum, yeah.

17 MR. DAY: Michael Day, Rockwood Consulting. On
18 March 23, SMUD held a workshop where there was actually
19 some Commission staff there and they talked about their
20 experience operating an off-bill finance program, secured
21 by UCC-1 Fixture filing. They're run their program for 40
22 years. They've had close to a 100,000 individual loans go
23 through. Their loss rate, as they define it, is under 4
24 percent of the total amount loaned. However, their
25 definition is any loan that goes 30 days late they send to

1 the bad bank. When you really look under the hood and
2 start looking at the numbers their effective loss rate of
3 all the money loaned has been less than 1 percent over a
4 40 year history. So that's several business cycles and
5 that information was passed over to the Commission on the
6 23 of March.

7 CHAIRMAN WEISENMILLER: That's good. Now I was
8 going to say I know for PG&E had a couple of programs like
9 this. One in the 90s for residential energy efficiency
10 where the - basically the bad debt became the
11 shareholder's obligation so they got out of that program.

12 They had a pilot program during that for solar
13 but, again, that's where the asset is pretty tangible.
14 If, you know, they felt pretty comfortable they had to
15 they could take the asset and resell it. But, again, that
16 was pretty small program.

17 COMMISSIONER PETERMAN: It would be good to hear
18 from John or Paul on this question as well. You've
19 discussed a bit some of the boom bust finance cycles but
20 if you have anything else to add.

21 MR. FRANKEL: Sure. This is Paul Frankel. Love
22 to chime in here. And, on this question of default rates,
23 you may have seen a report in December of last year by the
24 ACEEE that talked about performance of on-bill financing.
25 It says Repay - the title of the study is "Repayment for

1 Energy Efficiency Improvements through Utility Bills is a
2 Growing Trend." They quote a default rate of "frequently
3 less than 2 percent."

4 So I have – I do not have the report opened in
5 front of me but I believe they – this was a national wide
6 study so I'm happy to send along that link.

7 CHAIRMAN WEISENMILLER: That would be great.

8 MR. FRANKEL: We too at CalCEF – Happy to do
9 that. We too at CalCEF are looking at energy efficiency
10 projects specifically and I want to echo a lot of what
11 Jesse, I believe who was the last speaker, was saying.
12 But I also want to draw out a couple of other important
13 points.

14 One is that we have a need to segment to market
15 in a very way, I believe, because different products are
16 going to meet the needs of different customer segments so
17 it's not useful to talk about energy efficiency financing
18 as some monolithic thing.

19 The problems that residential customers have are
20 different from the problems that large industrial owner
21 occupied facility's have, which are different from large
22 multi-tenant commercial buildings. And so what we've been
23 doing quite a while here. And CalCEF is looking at
24 options to reduce first cost hurdles for adoption of
25 energy efficiency technologies. And we think debt is one

1 way to go about that or leases is another way to go about
2 it but we also believe that, as the previous speakers
3 mentioned, those products are problematic because a lot of
4 times – well, you have two issues. One is the credit
5 quality of the customer and the second is the actual
6 energy performance of the technologies that are installed.
7 The savings performance.

8 And so what happens in a typical ESCO model is
9 that they A) only deal with extremely high credit quality
10 customers or even if their lower credit quality they know
11 the municipal or other type of government entity is going
12 to be around for a really long time, beyond the term of
13 the contract for the efficiency services.

14 And number two they only deal with technologies
15 that they can model and, in fact, provide a savings
16 guarantee for the customer. So if the savings that were
17 supposed to have materialized from the installation by the
18 ESCO do not materialize then the ESCO will pay the
19 customer for those savings. Because of some technical
20 error in the installation or because of some technical
21 error in the technology itself. Some performance error by
22 the manufacturer.

23 So what's important than, in order to meet the
24 needs of a lot of customers is A) that they need to be
25 able to qualify for credit and B) there needs to be some

1 entity that stands behind the savings opportunity. And,
2 in order to do that, it's very difficult because as was –
3 again, because as was mentioned the middle market is where
4 we believe there's at least \$14 billion a year of annual
5 savings opportunity in this country.

6 So if you look at specifically owner-occupied
7 buildings for commercial, industrial and institutional
8 applications and you assume a fairly conservative of 20
9 percent savings opportunity in those buildings using CBECS
10 and MECs data from the Department of Energy and projecting
11 forward from the last known good data set we believe that
12 there's about a \$14 billion savings opportunity annually.

13 So how do you get at that? Not all of those
14 customers are going to be able to use their balance sheets
15 to finance those projects. And, of course, there's a
16 massive opportunity cost versus operational priorities
17 that those organizations have. And so oftentimes
18 efficiency projects are just under the line. They don't
19 make it through the budgeting process.

20 Secondly, those same organizations probably
21 don't want to use some sort of liability based mechanisms
22 so the leases and the loans they're marginally attractive
23 but again it's an obligation on their balance sheet that
24 they don't necessarily want to take on. And, especially
25 for the more small and medium enterprises, they don't want

1 to take that on.

2 So what we've been – ob-bill financing and PACE
3 are attractive mechanisms and I'm going to come back to
4 that in a second and say why but we've been looking at
5 services based models. So just like a solar power
6 purchase agreement or an efficiency services agreement can
7 do the same thing. Meaning that if a customer wants to get
8 a benefit of solar production on – from panels on their
9 roof but they don't want to actually make the initial
10 investment required to purchase that asset or to take on a
11 liability to purchase that asset there are third-party
12 vendors that are financiers who are financiers who will
13 actually buy and own those assets and place them on the
14 roof. And the customer simply pays for the output
15 generated by those assets.

16 In the case of solar, the output is electricity
17 but in the case of efficiency you could say the output is
18 energy savings or megawatts and so we believe that this
19 model of providing efficiency services is essentially
20 selling efficiency as a utility would sell a electricity
21 to customers and doing so in a services based contracts
22 actually removes a lot of the upfront cost barriers
23 associated with both the demand side of the equation,
24 again the budgeting and the liability issue, but also the
25 supply side. So for the small and medium enterprise

1 market you don't see a lot of lenders willing to make
2 those kinds of deals because of the credit risk and
3 because of their unfamiliarity of these types of
4 technologies and projects.

5 And, secondarily, ESCO's savings guarantees
6 don't exist for the small, medium enterprise market
7 because they will not service any projects that are less
8 than \$1 or \$2 million. So we think that in terms of
9 project financing and in terms of energy efficiency a
10 services aspect is – a services model is really a very
11 interesting proposition.

12 The on-bill financing is complementary and so is
13 PACE and so PACE is a way of actually raising additional
14 funds that are – especially for the small, medium
15 enterprise market low enough cost that you can absorb some
16 transaction cost for the smaller entities. Of course, it
17 does need to be done in a programmatic type of way because
18 evaluating – doing a deep dive on every single customer
19 credit is going to be extremely costly but if we can use
20 the PACE conduit to raise lower cost capital from the
21 capital markets that actually could make a lot of sense.

22 And, secondarily, the on-bill retainment conduit
23 adds an additional element of security by adding the
24 threat of shut off of services to the customer and so I
25 want to emphasize an efficiency services type of model is,

1 in fact, complimentary to PACE and on-bill approaches as
2 well.

3 COMMISSIONER PETERMAN: Great. Thanks, John.

4 MR. FRANKEL: Sure. That was Paul Frankel from
5 CalCEF.

6 COMMISSIONER PETERMAN: Right. But thank you,
7 Paul. John, do you have any comments?

8 MR. MARCIANO: Yeah. I view these not so much
9 as boom bust but as a series of waves and you can see the
10 waves coming for a few years and then getting closer to
11 the shore.

12 We saw that with low income housing and historic
13 tax credits, people flooding into those markets as the
14 markets get very crowded people start looking for others
15 as new incentives come in. And you saw that in 2008/2009
16 after the crash at the end of 2008 when the stimulus bill
17 came in in early 2009 there was a flood into renewable
18 electricity.

19 I really just see the projects that people are
20 trying to finance as an exercise in trying to complete a
21 puzzle. And you have six different pieces to complete
22 that puzzle. You have different pieces of capital that
23 are, essentially, cheaper or more expensive. So you start
24 with grants, they're free. You have debt that's
25 guaranteed. You have debt that's not guaranteed. You

1 have tax equity types of investment. You have strategic
2 equity and then you have just straight equity.

3 Now depending on who you're dealing with one or
4 more of those puzzle pieces may be gone and you may have
5 to make a bigger piece from one of the others. So if
6 you're talking about a homeowner, well, maybe they only
7 have debt or PACE, which PACE is really a form of debt.
8 If you're talking about a large windfarm, for example, a
9 couple of the puzzle pieces are going away in the near
10 term. The Production Tax Credit will pull away. The tax
11 equity market, the treasure cash current is going away.
12 Guaranteed debt is only available, essentially, through
13 the Department of Agriculture at the moment for new
14 projects so what does that leave them?

15 They have straight debt; they have a modicum of
16 tax equity if they can monetize some depreciation. They
17 have strategic equity and straight equity. We see a lot
18 of straight equity plays that people are talking about.
19 The biggest one of the moment is whether people can move
20 REITs into the market or mass unlimited partnerships.

21 REITs are a way of raising straight equity at a
22 lower cost, almost akin to raising debt but it's just
23 equity because you looked at the public markets.

24 So going – moving to whether we have a bust on
25 the horizon I think it really is just going to be a

1 question of where are the opportunities coming and where's
2 the next wave? And if the wind wave is nearing the shore
3 maybe we fall back on that wave and join up on the solar
4 wave. And we see that with a lot of the development
5 companies that are wind focused, shifting gears slightly
6 to be able to develop solar projects as well or fuel cells
7 or biomass so I think there are opportunities. Capital
8 goes where it's needed and it seems to be finding a place
9 in various aspects of the renewable sector regardless of
10 the fact that some of the incentives are coming in and
11 going away.

12 COMMISSIONER PETERMAN: John, thank you for
13 that. As you're speaking I appreciate the perspective
14 that you're bringing about how inspectors should choose
15 what to invest in. As a state we're focused on having a
16 diversified portfolio and so we do have some concerns
17 about focusing on any one particular technology at a given
18 time but acknowledging that sometimes that's where the
19 interests directs one.

20 And I think you've touched upon question three
21 here about the opportunities – the financing opportunities
22 that are starting to expire and when we get to that
23 question to hear your thoughts further about what can be
24 replaced.

25 Larry, as you move into question two I would

1 just say that I think Deana and Roma both touched upon,
2 and I know Roma has something to say, on what traditional
3 public finance entities can provide. And, as you go to
4 answer that question, I'd appreciate you focusing on what
5 types of projects are not necessarily getting financed
6 right now by traditional public entities. Maybe that's
7 distributed generation or smaller scale. Maybe that's
8 things that don't have physical facilities. So I'd
9 appreciate you touching upon that.

10 MR. RILLERA: Okay. Thank you, Commissioner.
11 Maybe we can move into question two then, Roma.

12 MS. CRISTIA-PLANT: Okay. I will do that. I
13 did want to add just a little bit on question one and I
14 know there's been a lot of discussion on that.

15 I'll be real brief.

16 COMMISSIONER PETERMAN: Take your time.

17 MS. CRISTIA-PLANT: In general, and you've
18 probably already heard this before, the bond market
19 itself, you know, is in some respects a bust cycle because
20 we've lost bond insurance. We don't have that anymore. I
21 mean, it's rare out there. It's there but it's very rare.
22 And the other aspect or the other kind of credit
23 enhancements that isn't there in the way it was in the
24 past is letter of credits. And between bond insurance and
25 letter of credits that's how bond market financing was

1 accessed in the past. So those are gone.

2 The other issue I wanted to bring up though is
3 that government borrowers, in general, their budgets are
4 strapped. Especially what we're seeing is that government
5 borrowers that provide utilities, and not necessarily
6 energy to utilities, but water, sewer, basic backbone
7 services, they're in a position of not wanting to raise
8 rates or not being able to raise rates to even finance the
9 maintenance and operation of their existing facility.

10 What we are seeing is several local governments
11 coming to talk to us to figure out ways to install
12 renewable energy projects so that this cost savings can
13 then be factored into their utility budgets and they can
14 continue to operate and provide those basic backbone
15 services. Nobody's moving yet but we're hearing some talk
16 of that.

17 So I just wanted to mention those two things
18 right now.

19 COMMISSIONER PETERMAN: Thank you. I think
20 that's a particularly useful point to mention considering
21 the discussion we had on panel one about bond market
22 opportunities and be providing some insight about just the
23 bust in that general cycle outside of the clean energy
24 space is important.

25 MS. CARILLO: And I would just add to that -

1 MR. FRANKEL: Go ahead.

2 MS. CARILLO: I would just add to that as far as
3 what kind of existing policies or policies can we expand
4 on. You know, at the State Treasurer's Office and the I-
5 Bank too we're conduit bond issuers for private
6 activities. So to whatever extent we can encourage that
7 kind of private activity I think at the federal level it
8 would be fabulous if there was some real movement at the
9 federal legislation to add tax exempt bond financing for
10 renewables.

11 Senator Feinstein has had a bill in the past. I
12 couldn't tell you where it is in the process today. I
13 think it is nonexistent. But I think from a federal level
14 as a federal policy that would be a great aid to the state
15 and our projects here.

16 MS. CRISTIA-PLANT: And getting on to question
17 number two, what I wanted to add was that I heard this
18 morning about small hydro projects being at \$1 million and
19 it's hard to access the bond market in those amounts. I
20 just wanted to let you know that the I-Bank can consider
21 some pooled bond financing. They are a little bit more
22 difficult to put together because you try to look at some
23 uniformity in credit or you need some sort of credit
24 enhancement but those projects could potentially access
25 the bond market if they could be pooled together and the

1 I-Bank has that authority.

2 COMMISSIONER PETERMAN: There was a comment on
3 the phone.

4 MR. FRANKEL: Hi. Yeah. This is Paul Frankel
5 again with CalCEF.

6 Kind of bridging question one and question two
7 here I did want to mention a couple of efforts that we
8 have underway. One is in conjunction with a group,
9 another nonprofit, called SolarTech, we, in fact, have
10 calls out to the rating agencies and project developers
11 and other financiers looking at this question of how, in
12 fact, do they evaluate project performance and the order
13 two is yes, there is a technology risk but the question is
14 how do they actually measure that risk and is there enough
15 performance information so that they can create actuarial
16 on payouts for any claims. And so this is true for both,
17 I should say, the insurance market but that same
18 underwriting process in terms of performance of assets is
19 applicable for the securitization process.

20 So we are in the process of right now of
21 engaging in conversation with insurance underwriters as
22 well as securitization underwriters and the rating
23 agencies themselves.

24 The other side of that coin is actually
25 collecting performance information from assets that are

1 performing in the field. So one area that the state
2 could, potentially, play a role is in creating some sort
3 of database repository for information to be a basis for
4 the evaluation of assets and projects. And it's not just
5 the individual components of a technology that need to be
6 evaluated but the performance of a whole system that needs
7 to be evaluated. And we wrote a white paper on this. I'm
8 happy, again, to forward it around to members of the
9 Commission and there is something there in terms of both a
10 data standard or a reporting standard and, in fact, a
11 location to house this information and make it accessible
12 to financial institutions.

13 Two other quick points. One is that we're also
14 doing a bunch of work on looking at REITs and,
15 specifically, for solar and wind assets. Understanding
16 how REITs could potentially play a role. And, obviously,
17 there's a big federal aspect to that but we're actively
18 pursuing those activities right now. And, again, we
19 welcome engaging conversation on that topic.

20 Last comment for the moment, I think it's
21 worthwhile to note that there are a variety of different
22 incentives provided to renewable energy technologies that
23 are not available to energy efficiency technologies.

24 So there is some federal effort underway right
25 now looking at the IRS tax code. Specifically, section

1 179(d) of the tax code where there's, right now, a fairly
2 limited opportunity for energy efficiency product
3 developers and installers and architects to actually take
4 a deduction for energy efficiency technologies.

5 I realize fiscally this may not be a popular
6 option at the moment but it is worth noting that there are
7 very few, if any, tax deductions at the state level in
8 addition to the federal level for energy efficiency
9 implementations. So that may be an additional area to
10 look into it.

11 COMMISSIONER PETERMAN: Thanks. If you wouldn't
12 mind, again, submitting into the record that white paper
13 you wrote on performance standards that'd be great.

14 MR. FRANKEL: Great. Will do.

15 MR. RILLERA: Paul, this is Larry. I wanted to
16 clarify. Is that your June 2010 whitepaper?

17 MR. FRANKEL: I believe it was from last year,
18 Larry. Let me do a quick -

19 MR. RILLERA: That's fine.

20 MR. FRANKEL: Search. I believe the name or the
21 title of the paper is called, "Insuring Innovation."

22 MR. RILLERA: Yes. That was last year. With
23 respect to the June 2010 whitepaper you had issued, one of
24 the points of conversation this morning was regarding
25 efficacy insurance and you had just mentioned some

1 insurance project or product potentially. Could you
2 elaborate a little bit on efficacy insurance and the use
3 in renewable financing?

4 MR. FRANKEL: Sure. And that would be, I think,
5 that there are two papers that we wrote. One was kind of
6 setting the playing field, if you will, and then we did a
7 much deeper dive specifically into insurance products and
8 that was in – published in October of 2011. And so it's
9 called, "Insuring Innovation: Reducing the Cost of
10 Performance Risk for Projects Employing Emerging
11 Technologies."

12 And the idea there is, again, there are
13 component warranties and component performance policies
14 out there available from insurance providers. But those
15 are insufficient in order to reduce the cost of capital
16 and make capital more accessible for technologies that
17 have not yet been field proven or have not yet been proven
18 to the degree that they need to be in order to be
19 considered mature by the mainstream debt providers.

20 So you can finance these projects but it's
21 extremely expensive. It's expensive to do it with equity.
22 You can, sometimes, from very limited number of insurers
23 actually get some sort of system performance insurance but
24 it's not cost-effective for the developer. And so in
25 addition to a power purchase agreement, some long-term off

1 take agreement, insuring the performance of the assets is
2 critical to actually getting low-cost capital. Enough so
3 that it makes it a profitable endeavor for the developer.

4 And this question of how to get that performance
5 tail recorded for technologies that are being built at a
6 commercial scale for the first handful of times is
7 obviously critical to allowing many technologies to
8 flourish in the marketplace, to meeting our overall
9 renewable energy efficiency and carbon goals. And this is
10 one of those valleys of death that we hear about so often
11 but it's just not talked about as much. We hear a lot
12 about demonstration scale financing but we would submit
13 that first commercial project financing for emerging
14 technologies is an equally critical gap and if we want
15 these technologies to actually scale up to any meaningful
16 volume then this is a problem that we need to address.

17 COMMISSIONER PETERMAN: This is Commissioner –
18 go ahead.

19 MR. MILLER: This is Seth. Sorry.

20 COMMISSIONER PETERMAN: Go ahead. Make your
21 follow up point. Go ahead.

22 MR. MILLER: I'm sorry. This is another voice.
23 This is Seth from DBL Investors and I just wanted to
24 follow on from that from a venture perspective. I think
25 that's a fantastic point. You know we'd seen the number

1 of venture dollars go down in the past quarter about 20
2 percent and it's still over \$1.5 billion but down from,
3 you know, well \$2 billion. So a significant drop.

4 So it's kind of a bust and the capital markets,
5 in terms of exits being a lot less likely, that's also
6 driving venture investors away from the sector. And to
7 helping companies come through this Valley of Death with
8 things like insurance – efficacy insurance or,
9 potentially, solar REITs or, you know, structures that
10 look like feed-in tariffs will be critical. Especially in
11 the area of first commercial deployment or, you know, a
12 little bit later on even for a second, third, fourth, you
13 know, until things get understood well enough out in the
14 field that more traditional lenders will be willing to
15 come in and take care of that.

16 We've had one of the large insurances companies
17 approached one of our companies that's doing sort of
18 midscale solar project development and talked to them
19 about doing an efficacy structure with them, which would
20 be incredibly helpful in driving the interest rates down
21 and what people can do for project development. It's
22 definitely critical so that kind of thinking and these
23 kinds of policies, things that encourage this would be
24 crucial to encouraging the growth of venture investment in
25 the space again at a time when we're losing investment in

1 the space and helping these companies get through the
2 different various types of valleys of death.

3 COMMISSIONER PETERMAN: I'll just -

4 MR. MILLER: Sorry.

5 COMMISSIONER PETERMAN: I'll just note that -

6 MR. FRANKEL: Seth, thank you for that
7 endorsement.

8 COMMISSIONER PETERMAN: I'll just note that in
9 the PIER program at the Commission we've done some of that
10 first commercial financing but it is one off on a project
11 scale and it's not at the total size that is really needed
12 in the market.

13 So I wanted to turn to Roma and Deana. Roma,
14 listened to some of your comments, you noted that some of
15 the loans that are available through the I-Bank require
16 parties to be able to demonstrate that they can repay the
17 loans. So are there opportunities within your current
18 financing structures to do some of this first
19 commercialization financings and this higher risk
20 potentially financing?

21 MS. CRISTIA-PLANT: Not with the resources that
22 we have now. If there can be a source of funding that
23 could be provided the I-Bank could certainly generate a
24 program that could generate something like that.

25 MS. CARILLO: And for CAEATFA we're in a little

1 bit of a different situation because for our renewable
2 projects we're providing a sales and used tax exclusion.
3 So the applicants really have to have the capital to buy
4 the equipment to even benefit from our program. We're the
5 last dollar in.

6 We're technology neutral. Many of our projects
7 that we've awarded, you know, haven't been able to pull
8 together the funding and so have not moved forward. So in
9 that case, well the state's risk of providing that
10 assistance we can fund some of those early commercial
11 projects but they have to be able to come up with the
12 capital first.

13 Under our other – the other program that we're
14 launching right now we're providing some financial
15 assistance to financial institutions to encourage them to
16 provide loans for residential energy efficiency retrofits.
17 It's a little – it's related to the conversation today but
18 a little off topic and isn't relevant to that specific
19 point but we are providing some financing there as well.

20 MR. RILLERA: Okay. Great. Thank you. How
21 about we move to question number three.

22 The effects of the 2008 financial crisis –
23 excuse me, financial markets helped to create many federal
24 policies and investments such as the cash grants (1603),
25 loan guarantees (1703 and 1705) and others. As these

1 programs and others sunset, provide recommendations on
2 what assistance California can provide going forward.

3 MR. JONES: So I have a little bit of a vested
4 interest in this one because we are sponsoring state
5 legislation right now.

6 I'll speak first. We all need to think about a
7 post-ITC world, not just from state incentives but from
8 federal incentives. The time will come. Government
9 builds up industries by providing tax shelters and other
10 than a few lucky ones those tax shelters oftentimes go
11 away.

12 So I just got an email from our Director of
13 Policy at CleanPath that Vote Solar just published a
14 report for SB-843 so I guess the first thing would be
15 sound policy. And back up and say that in Germany, which
16 has a feed-in tariff that may be too rich, but they were
17 able to install 1.8 gigawatts of solar electricity in 90
18 days. That is 57 percent of the United States' Army for
19 the next 13 years and that's just what sound policy can do
20 for homeowners. German moms and dads.

21 So the SB-843, which is virtual net metering, is
22 a means, I think, to help create what is a post-ITC
23 landscape.

24 We see that - per this report it would allow
25 12,000 direct and introduce local jobs, \$230 million in

1 local tax revenues and \$7.5 billion in total economic
2 output. This is published by Vote Solar and I'd be happy
3 to forward it over at the end of the meeting.

4 So I think that it is – in a way 1603 was what
5 the market needed to kind of spur the growth that will
6 then create a resilient industry in its wake. The cash
7 grant was essential for that but now as it goes away, and
8 when we look at the paralysis in Washington and as I get
9 older I wonder if it's ever been any different. Maybe you
10 guys can tell me. But as I get older I wonder if it's
11 ever been any different and when we go – I spend a lot of
12 time in Washington working with the military and their
13 different programs. And it seems to me what they're
14 looking to, and what the folks in Washington are looking
15 to, are for people at the state level to make policy
16 initiatives that foster growth after the ITC.

17 So what California can do going forward is to
18 pass SB-843. That's the last plug for that. But, you
19 know, foster sound policy on the state level and not
20 depend on anything to come out of federal government, I
21 think, is probably key.

22 And you can use North Carolina as an example.
23 Very cheap, a blend of retail rate of power. There has
24 been a lot of activity in the solar space, specifically in
25 North Carolina. I'm seeing projects come out of there at

1 a faster rate. They're investor quality, asset class,
2 than I am in California right now because they have a
3 bifurcated state tax credit. So, again, you see how sound
4 policy in a place where blended retail rate of power for
5 industrial users is \$0.06 or \$0.07 is still able to
6 finance projects just based on the tax credit.

7 COMMISSIONER PETERMAN: Just mention, North
8 Carolina. Do you have a sense that the tax credit with a
9 share of a total installed cost that would represent for
10 PV system?

11 MR. JONES: I mean, it depends on the cost of
12 the PV system. The tax credit is 35 percent so -

13 COMMISSIONER PETERMAN: Okay.

14 MR. JONES: So you can take -

15 COMMISSIONER PETERMAN: That'll do it.

16 MR. JONES: Yeah.

17 [LAUGHTER]

18 MR. JONES: That's bifurcated so it doesn't
19 impact - it does but it's bifurcated from the ITC so it's
20 taken separately.

21 MR. MARCIANO: This is John Marciano. I have
22 some comments.

23 If we're talking about state credits, very few
24 people that invest in these projects can use them unless
25 they're transferrable or refundable. So I think if we

1 want to rely on state tax credits we need to be able to
2 show that we can do one of those things. Because if we're
3 talking about the pool's investors as JPMorgan or these
4 large institutional investors they will not price in those
5 credits, which means that they really go to waste.

6 I think the things that really do provide
7 substantial benefit for talking about credits are sales
8 tax credits or exclusions, exemptions, property tax
9 exemptions, the solar property tax exemption that
10 California has is great. The thing that would be better
11 if we – that I think California can do with respect to the
12 California property tax exclusion for solar is that it
13 could provide additional clarity and certainty so that we
14 can have consistent application across the state. The
15 Board of Equalization has been outstanding in working with
16 the industry in terms of trying to craft that when the
17 legislature and large measure fell down on the job.

18 We've been very impressed with the Board of
19 Equalization's willingness to move forward and try and
20 help the industry when the legislature created ambiguity.

21 COMMISSIONER PETERMAN: Anyone else on the line
22 with comments? General recommendations for California
23 going forward?

24 MR. RILLERA: Please, Roma.

25 MS. CRISTIA-PLANT: I just wanted to add that

1 California Infrastructure Bank has been looking into a
2 way, we haven't figured it out yet, but looking into a way
3 to fund or finance the start up cost for community choice
4 aggregators with the hopes of eventually down the road
5 when they are passed their start up phase and they get
6 into the phase of wanting to construct renewable projects
7 that we can then turnaround and help finance those
8 renewable projects. But we're only in the discussion
9 phase. So that's one effort that we're making.

10 The other effort is, as I said earlier, if you
11 could find a pot of funds potentially the I-Bank may have
12 the ability to leverage those funds with federal resources
13 and private resources. That would take work to do that
14 but that is something the I-Bank Act allows us to do.

15 MR. JONES: I don't mean to jump back in. But
16 one more thing, actually, kind of comes to mind. And we
17 went down and did a Workshop at the CPUC to talk about
18 project viability and the ability for people who have won
19 contracts in the last two years to finance them and bring
20 them to fruition.

21 When you see a solar project clear for levelized
22 cost of power over 20 years with a major utility at \$0.06
23 it is our thought that that developer's out there trying
24 to raise a B-round of capital. Having large contracts on
25 their book that equal pipeline is a good means to do it.

1 If any other field of the State of California,
2 the state, the UC system, were to put forward a major
3 contract they would require big bonds or some financial
4 security to realize that project from the developers. If
5 it was a means to meet its overall goals. If they were
6 unable to do that the capital at risk to perform would be
7 taken by the state and the fact that anybody can walk in
8 the door and put forward a project proposal without the
9 means, the ability or, sometimes, the intent to actually
10 construct; and those projects and that capacity is then
11 sitting idle while good projects are on the sideline.

12 I don't know what the process is. We've talked
13 about maybe a big bond or the CPUC but something that
14 provides some security so that people need to actually or
15 an off ramp so people can be off ramped out of their
16 contracts for non-performance.

17 CHAIRMAN WEISENMILLER: Okay. Are you aware of
18 the liquidated damages provisions in the PPAs?

19 MR. JONES: There are liquidated damages
20 provisions in the PPAs but you don't actually have to
21 build it.

22 CHAIRMAN WEISENMILLER: But they're there,
23 right?

24 MR. JONES: What's that?

25 CHAIRMAN WEISENMILLER: But they're there and

1 have to be considered by the developers as an obligation.

2 UNIDENTIFIED SPEAKER: There is some security,
3 but not much.

4 MR. JONES: Yeah. You have to pay your PPA
5 security if you actually get through to your – if you
6 submit for your SGIP and you get interconnection you
7 provide peak faced security based on your timeline though
8 often times those are far out in the future.

9 UNIDENTIFIED SPEAKER: There is still – they are
10 actually proportional. A little earlier.

11 CHAIRMAN WEISENMILLER: Please come up to the
12 microphone and identify yourself. That's fine.

13 MR. ARMISTEAD: I just came from the Wind
14 Conference.

15 MR. RILLERA: Please introduce yourself.

16 MR. ARMISTEAD: Hunter Armistead with Pattern
17 Energy. I'm on the next panel, so.

18 But the – I agree with the comment. Because I
19 think it – there's a – if you ask most utilities today
20 they would say that they have commitments that suggest
21 they're going to hit the portfolio standard right now.

22 MR. JONES: Exceed.

23 MR. ARMISTEAD: Exceed the portfolio standards.
24 I guess SDG&E was probably the furthest away but with
25 their commitments they will actually get there too.

1 So a common discussion that was actually
2 discussed at the Wind Conference is California really
3 drives the West in – with California “met its targets.”
4 What does that mean for the rest of the Western renewables
5 right now?

6 And I think your comment is very spot on. I
7 asked a kind of a question that there’s three numbers that
8 I’d be interested in is how much solar is operational
9 right now and how much is under committed contracts to be
10 built in the next four years and the third number that I’m
11 interested in is how many are actually going to be built?

12 And, you know, if you knew the answer to those
13 three numbers you would know how real it is that
14 California has achieved its objectives. And, maybe, I’m
15 not one of the solar developers that have those contracts
16 so I can’t speak to them. I have, however, looked
17 extensively at the economics of solar PV based on existing
18 rates. And so I’m very familiar with what types of
19 returns would be implied by the rates that are otherwise
20 suggested in these PPA awards. Either of the numbers are
21 going to have to fall through the floor or maybe the U.S.
22 government is actually issuing those 2 percent treasuries
23 to pay for it.

24 MR. JONES: Yeah. I mean in cluster 4 there
25 were 90 gigawatts of interconnections studies that were

1 put forward when it came time for the SGIA payments that
2 actually to pay for their interconnection. They, for
3 their studies, the number went down to 25 gigawatts in the
4 last round. Right. And I think those payments were due
5 on March 31.

6 CHAIRMAN WEISENMILLER: I think the things that
7 you have to consider is 1) the failure rate has
8 historically been above 40 percent in the PPAs. Maybe
9 higher, maybe low going forward but also the ratio between
10 bids and accepted contracts is somewhere between 10 or
11 20:1.

12 Now obviously people do multiple bids, multiple
13 utilities, etc. but that implies that the interconnection
14 requests are going to be 20 times as much as necessary.

15 COMMISSIONER PETERMAN: And we had touched upon
16 this issue in our Workshop on interconnection and thinking
17 about the ISO queue because this issue of project
18 viability just causes delays for lots of reasons and you
19 can have something that falls through on the financial
20 side or interconnection side. We've got a representative
21 here from PG&E so let's here from our utility about, once
22 again, talk about project viability.

23 MS. WINN: Um, yeah. Project viability. Now,
24 actually, one of the things that we learned early on was
25 that it was really important for developers to have some

1 skin in the game as far as development. And we were very
2 vocal in advocating for bid deposits and for developers to
3 have to put some money upfront to show that they were
4 serious about developing some projects.

5 So, you know, for the utility solicitations I –
6 you know, there's always the question of what's the right
7 balance. Some developers, while we say it should be
8 lower, others might say it should be higher. But, you
9 know, there is at least some protection mechanism. And
10 then, of course, once they do reach commercial operation
11 if they fail to deliver then there are liquidated damages
12 and contractual conditions as well.

13 MR. ARMISTEAD: But to your point I believe in
14 the last round the security was both earlier and then upon
15 award there was – it was meaningful but it clearly still
16 resulted in a significant amount of awards for contracts
17 that, you know, if they get built would be very attractive
18 for the utilities and the ratepayers.

19 MR. JONES: You're talking about bid deposits
20 which is right. I mean, if I wanted to go in and bid a
21 project for the University of California, a solar project,
22 to put that bid in in the first place I would have to
23 secure 10 percent of the total contract value. And then
24 you, as a public entity could carry that forward and if I
25 wasn't able to meet my obligations or tried to walk away

1 from that number or unable to perform you would be able to
2 recoup that money.

3 MS. WINN: Correct.

4 MR. JONES: And I think that it would – you
5 would see – A) you would have to process a lot fewer
6 applications because there would be fewer people that
7 could participate and then I think people would be more
8 realistic about what their obligations are.

9 MS. WINN: And that will remain to be seen as
10 the results of the current solicitations lead to actual
11 construction of projects. But I will say that for our
12 solar portfolio certainly our past experience that we were
13 estimating that 40 percent of the contracts would fail.
14 But now that some of those early projects are out of our
15 portfolio I think that there are many more requirements
16 that people be in the interconnection process and be at a
17 certain level of development for them to be able to get a
18 contract. So not sure that we have the same failure rate
19 in front of us. And many of our solar projects, the large
20 ones are under construction now.

21 COMMISSIONER PETERMAN: So Valerie, just
22 following up on this, and after this, Larry, let's see if
23 we have public comment before we hear from the panelists
24 again.

25 Assuming that 40 percent failure rate and

1 declining has that accounted for in the insertions that
2 people have been saying that the utilities are fully
3 sourced, the IOUs, for the 20 percent – I mean, sorry, for
4 the 33 percent?

5 MS. WINN: Yes. We have factored that in into
6 our assessment that we are very well positioned to meet
7 our compliance obligations for RPS through at least the
8 second compliance period. We may have some limited
9 additional procurement we need to do to achieve the 2020
10 goal.

11 MR. RILLERA: Okay. Great. Thank you. I think
12 what we'll do is do a brief last minute injection by the
13 panelists and then we'll open up for Public Comment.

14 COMMISSIONER PETERMAN: Larry, I'm actually
15 going to recommend that you start with Public Comment
16 because there may not be that much and then we'll know how
17 much time the panelists have. Thanks.

18 MR. RILLERA: So we'll go ahead and open up
19 Public Comment.

20 MR. JONES: Do you want me to step back or stay
21 on this panel?

22 COMMISSIONER PETERMAN: You can sit there but
23 you just can't offer any Public Comment. You can talk in
24 the next panel.

25 MR. RILLERA: Any comments in the room? Please.

1 MR. DAY: Michael Day. Rockwood Consulting
2 again. First off, I really agree with what you were
3 talking about the market segmentation between residential,
4 nonresidential, owner-occupied, non-owner-occupied.
5 That's a huge deal in working with this, I agree with
6 that.

7 One thing about the PACE option, most people
8 probably know that the residential been frozen for over a
9 year. Commercial is also largely frozen. At the mPOWER
10 program in Placer County has done five loans over the last
11 two years, I think. And L.A. County has done zero. So
12 it's – you have the Office of the Comptroller of the
13 Currency coming in and giving guidance to national banks
14 about what to do there that has largely frozen a lot of
15 the PACE stuff as well.

16 But one class of loan products or one strategy
17 is something that CAEATFA touched on and that's getting a
18 lot more traction here in California. And that's private
19 capital coming in with credit enhancement from public
20 sources. So you have the CAEATFA Clean Energy Fund, I'm
21 probably calling it the wrong thing, Dan. But the – you
22 have that with private lenders. You have \$200 million
23 coming from the IOUs and really from ratepayers through
24 the PUC process that will be partly from bill financing
25 but largely going to go to credit enhanced programs. And

1 then you have projects such as the MIST 2 Proposal, that's
2 pending here right now as an extension of MIST 1, that's
3 also a credit enhancement.

4 And one of the things that that touches on that
5 was talked about here was savings guarantees. MIST 1 was
6 pretty instructive. That it didn't go for a savings
7 guarantee. It said, here's a best effort and here's our
8 uncertainty level, and presented that, in this case,
9 residential homeowners. Now that had an audit-in
10 modeling, review of the models, HERs out and showed what
11 the cash flow would look like on that. Compared to a lot
12 of other programs around the United States that was a
13 pretty rigorous process to accomplish, especially at the
14 residential level.

15 But what it did was it really gave a high level
16 of certainty for the residences that they'd be willing to
17 go forward. Now moving private capital in there really is
18 a lot of value in public entity participation. Partly for
19 reviewing the models that have been done and also bringing
20 trust by the part of the financial institutions. And, in
21 some cases, it can be very cost-effective. I think
22 overall policy goals, if you're looking at different
23 financing mechanism wide segment breath, trying to get as
24 broad as a program as possible with limited dollars. So,
25 for example, we heard about a solar PPA that was in the

1 700s, mid-700s FICO score, you see the MIST 2 down to a
2 640 FICO score. So program breadth can be a very
3 important characteristic.

4 I think that low monthly payments is really
5 something. You see a lot of people focus on what are the
6 points or what are the interest rates or what is the term.
7 We're really talking about leveraging the savings in a
8 cash flow model so part of the reason the MIST 1 did so
9 well is it had a monthly payment factor of 0.67 percent.
10 MIST 2 is under 1 percent. I think that that's really
11 something to look at going forward with those programs.

12 And, finally, to the extent that any of these
13 programs are going to be using public dollars, I think
14 that you have a pull along ability to require best
15 practices, even if they are a little bit more cumbersome.
16 As well as to really gather a lot of this data in a very
17 comprehensive and standardized manner so that maybe the
18 ratings agencies can start taking a look at the loan
19 performance of this. And maybe they can't make a
20 decision. Maybe there's not enough data there. We haven't
21 been through enough business cycles to decide it on its
22 own but what we can start doing is providing a correlation
23 between other known data sets for similar types of credits
24 and that that might get us to a place where ratings are
25 possible on a more accelerated basis. Thank you.

1 COMMISSIONER PETERMAN: Thank you for your
2 comments. And you obviously have been thinking a lot
3 about this space and have some informed comments and
4 questions. So to the extent that you're interested please
5 expand on them further or summarize them in written
6 comments.

7 MR. RILLERA: Any more comments in the room? Do
8 we have anything online?

9 MS. KOROSK: All right. The phone lines are
10 unmuted if you have any comments. All right. Nope. No
11 comments.

12 COMMISSIONER PETERMAN: Let's go back to the
13 panel for any final comments and those on the phone as
14 well.

15 MR. RILLERA: Panelists, if you have any final
16 comments or remarks you want to add or online?

17 MR. MILLER: This is Seth Miller again from DBL
18 Investors.

19 A lot of the conversation today has focused on
20 generation efficiency or demand side management and I just
21 wanted to say that the state should also consider, and I
22 know you have in the past, advanced storage when you're
23 thinking about encouraging these technologies and helping
24 them grow through the different types of incentives but
25 please do remember that advanced storage has a lot of

1 potential to help the clean energy generation and the
2 demand side management and get clean power in the hands of
3 people at a time when they need to use it. Thanks.

4 COMMISSIONER PETERMAN: Thanks for that point.

5 MR. JONES: The only thing that I would say is
6 that it's encouraging that I think that the culmination of
7 this you hear from a lot of different people as they're
8 starting to think of energy and all of its impacts. And
9 what that's coming to is integration. And, I think, we're
10 starting to fall out of thinking about renewables as
11 siloed technology. And as we look at policy and we write
12 policy and propose it it really does look at all
13 renewables of energy.

14 COMMISSIONER PETERMAN: I'll just add a point on
15 that. We're having a Workshop on Integration on June 11
16 but we talked about this in, I think in maybe the Cost
17 Workshop about how historically integration costs have not
18 been something that's been a consideration in the PUC
19 procurement process and there's a rulemaking where they're
20 starting to look at that now and, increasingly, when
21 looking at all in technology costs, all system costs, this
22 is going to be an important factor to consider.

23 MR. RILLERA: Okay. Great. Thank you, Jesse.
24 John? Paul?

25 MR. MARCIANO: Sure. John Marciano here. I

1 think that the bottom-line as far as investment in these
2 types of renewables is consistency. So if no matter what
3 policy the state decides to go down I think we should
4 think about ways to do it in a consistent measure that
5 lasts for more than just a year or two. Thank you.

6 MR. RILLERA: Thank you.

7 COMMISSIONER PETERMAN: So I'll make a comment
8 on that point. I think consistency is important. I think
9 consistency is more likely if we have public, private
10 match. I think the reality is just that there's not
11 enough money in the public sector to make these
12 investments at the scale needed over many, many years and
13 so to the extent that we can leverage private capital,
14 which is what we are trying to do, and some of our
15 investment programs here at the Commission, I know the I-
16 Bank and CAEATFA's thinking about will be important. And
17 so we appreciate your suggestions on how to better do
18 that.

19 MR. RILLERA: Thank you, John.

20 MR. MARCIANO: Thank you.

21 COMMISSIONER PETERMAN: Yeah. I'll just - thank
22 you to all the panelists. I mean this has been helpful to
23 have all of these comments discussed at the same time.
24 It's slightly pessimistic, I'll have to say, in that -
25 I'll be honest. Because, I think, we're moving into a

1 period where we have less of some of the federal
2 incentives available. We also had an opportunity
3 particularly in this state to take advantage of some ARRA
4 funding, which is now declining or ending and we're going
5 to be talking about that in the next panel. There is a
6 need to talk about what mechanisms we can do within the
7 state. What else we can encourage at the federal level.

8 And, generally, also I don't feel like we got a
9 really good answer about fundamentally how the deal with
10 some of the initial early financing for commercialization
11 as well as the DG, some ideas are being kicked around,
12 maybe we can submit some of those more in the strategic
13 plan. But I think there's a need now to move forward with
14 something new and this discussion has highlighted that for
15 me. Chair?

16 CHAIRMAN WEISENMILLER: Yeah. I was going to
17 say that I think, again, certainly on the written comments
18 the thing that would be interesting is that in the first
19 session we talked a lot about sort of the innovative
20 technologies. Now in California we have a lot of
21 innovative technologies - many of the things we do may be
22 considered innovative elsewhere but that we're trying to
23 move past the wind and solar energy efficiency to as you
24 say the more venture capital types of stuff or mezzanine
25 capital, but anyways, any thoughts on how to encourage

1 that innovation would be good.

2 Another thing that I was just going to note is
3 that if you look back in the middle, well, late 80s there
4 was a book banner ACEEE on performance contracting, which
5 I was actually one of the authors on that, and I would say
6 that many of the things people talked about today sounds
7 like things we said then. But, at the same time in terms
8 of that industry, it's not really taken off is the bottom
9 line. So certainly it's worth thinking about any of the
10 things we could do to really move the performance
11 contracting needle along. Certainly, again, as a way to -
12 you know, just the reality is, I remember the first time
13 that we were doing this report, people had lots of ideas
14 on if the state had lots of money on what we could do to
15 really help in financing innovation. And the reality is
16 the state doesn't have lots of money, you know, and we
17 have a very bleak budget situation so we have to be a lot
18 more creative. And certainly what we're hoping for is
19 some creativity in your comments.

20 COMMISSIONER PETERMAN: And also, just to add,
21 in terms of opportunities with the RPS we've touched a bit
22 upon how three investor owned utilities have contracts or
23 projects in place to meet, at least, the first and second
24 goal targets of the RPS. And just to remind everyone that
25 that's not necessarily the case with the public utilities,

1 which are now obligated under the RPS. And particularly,
2 we've been talking to some of the small public utilities
3 and they have a smaller procurement target to meet. They
4 also have less money opportunities or funding available.
5 So they're looking for these opportunities with some of
6 the smaller scale on the DG. Some of the ones that are
7 really not captured in some of the financing programs that
8 we've talked about and they're trying to figure out a
9 cost-effective way to meet the RPS and so opportunities do
10 exist.

11 CHAIRMAN WEISENMILLER: Yeah. And I think at
12 each of these Workshops we've always reminded too that the
13 people the Governor has said 33 percent is a floor not a
14 ceiling and certainly one of the things that we'll be
15 interested in this IEPR is looking at growing beyond 33
16 percent to a higher level and what are the costs and
17 benefits of that, realizing there are both.

18 COMMISSIONER PETERMAN: Agreed. And figuring
19 out a way how to provide that financing is going to be key
20 to getting to a 40 percent target or even something
21 greater.

22 MR. RILLERA: Okay. Great. Thank you,
23 everybody. Want to thank the panelists for participating
24 today.

25 COMMISSIONER PETERMAN: Thank you, Larry, for

1 your moderation. We'll be taking a break. We'll
2 reconvene at 2:30. Thanks.

3 (Off the record at 2:17 p.m.)

4 (Back on the record at 2:42 p.m.)

5 MS. KOROSSEC: Welcome back. We're now going to
6 begin our third panel on American Recovery and
7 Reinvestment Act Projects, Status and Next Steps. And our
8 moderator is Felicia Miller from Energy Commission Staff.
9 Felicia?

10 MS. MILLER: Thank you. Good afternoon. My
11 name is Felicia Miller. I work in the Siting Division as
12 a Project Manager. Thank you for inviting me to work on
13 this panel.

14 Our presentation today has to do with ARRA
15 projects and ARRA financing. Due to the dynamics,
16 complexity and impacts, ARRA and ARRA-funded projects have
17 on the development of renewable energy in California; the
18 California Energy Commission could have had a standalone
19 Workshop just to discuss ARRA workshops. However, working
20 within the time constraints of the Workshop my portion
21 will provide a very brief overview of the ARRA programs, a
22 report on the status of Commission-associated solar
23 thermal projects as well as a panel discussion represented
24 by developers who successfully received ARRA funding as
25 well as representatives of projects who were not

1 successful.

2 The American Recovery and Reinvestment Act of
3 2009, also known as the Stimulus Act, was established to
4 jumpstart the U.S. economy, create or save millions of
5 jobs and to invest in the nation's energy future. ARRA
6 provided almost \$94 billion in direct and indirect
7 spending through tax incentives, grants and loan
8 guarantees to clean energy companies and projects.
9 Renewable energy projects benefited under ARRA primarily
10 from several programs geared to facilitate renewable
11 energy projects. Specifically, section 1703 and 1705 and
12 the 1603 grant program.

13 \$6 billion was provided to the Department of
14 Energy's Loan Guarantees Program under program 1703, a
15 program under the Energy Act of 2005. Although most of
16 those funds were raided by other programs, \$2.5 billion
17 remained in the program which funded innovative energy
18 efficiency, renewable energy and advanced transmission and
19 distribution projects.

20 The ARRA Program amended the loan guarantee
21 programs authorizing legislation by adding section 1705.
22 Section 1705 is a temporary program which authorizes loan
23 guarantees for certain renewable energy systems, electric
24 power transmission systems and leading edge biofuels
25 projects that commence construction no later than

1 September 30 of 2011.

2 ARRA also created the 1603 grant program, which
3 offered renewable energy project developers cash payments
4 in lieu of the investment tax credits. Per the DOE
5 website, over \$11 billion has been dispersed for projects
6 associated with biomass, geothermal, solar and wind.

7 As a result of the availability of ARRA funding,
8 beginning in 2010, the Energy Commission was inundated
9 with applications to certify solar thermal power plants.
10 The CEC completed the licensing of eight solar thermal
11 projects with a ninth project pending, representing more
12 than 4,000 megawatts of solar thermal energy. Of those
13 nine projects, three are currently under construction with
14 a fourth energy project slated for construction start in
15 2013 and a fifth project undergoing a major amendment.
16 And those projects are as follows, projects currently
17 under construction are:

18 Ivanpah, developed by BrightSource. The project
19 is about 20 percent complete and started construction in
20 October of 2010. The project received ARRA funding and
21 the first tower block is scheduled to go online in quarter
22 one of 2013.

23 The second project under construction is Abengoa
24 Mojave Solar. The developer is Abengoa Solar, Inc. The
25 project was approved in September of 2010. It's developed

1 on 1,750 acres of private land. It did secure ARRA
2 funding. It started construction of October 2011 and is
3 90 percent graded. And is scheduled for commercial
4 operation of quarter three of 2013.

5 The third solar thermal project under
6 construction is Genesis Solar, which is being developed by
7 NextEra. The project was approved in September of 2010.
8 It's on 1,800 acres of land leased by the BLM and it did
9 secure ARRA funding. The project started construction in
10 August of 2011. It's about 20 percent complete and is
11 scheduled commercial operation of the first unit is for
12 May 2013.

13 In addition there are two projects in the
14 Commission right now undergoing post-certification
15 process. They are Rice Solar Energy, being developed by
16 Solar Reserve. The project was approved in December of
17 2010. It's 150 megawatts of salt storage technology with
18 a center receiver tower and it's on approximately 1,400
19 acres of private land. The project is in pre-development
20 stage and staff is processing compliance submittals. The
21 project is currently scheduled for a March 2013
22 construction start and the developers are currently
23 working to secure construction financing.

24 The fifth ARRA project that's in-house is a
25 Calico Project being developed by K Road. It was approved

1 in October of 2010. It's on over 8,000 acres of private
2 land. The project did not secure ARRA funding. K Road
3 purchased the project from Tessera Solar. And CEC
4 jurisdiction was established in May of 2012 under AB-1073
5 that allows the CEC to process amendments to previously
6 licensed thermal projects. The developer is meeting with
7 the Energy Commission to discuss an amendment to convert
8 the project to 100 percent solar.

9 The unsuccessful ARRA projects, there is five of
10 them. Three of them are – were represented by the
11 developer Solar Trust of America. They are Blythe, Palen
12 and Ridgecrest. As Solar Trust of America was a
13 subsidiary of Solar Millennium and they are in the middle
14 of bankruptcy as of April 2012. And the three projects
15 are on hold pending sale. The exception is the Ridgecrest
16 Project which is undergoing jurisdictional
17 reconsideration.

18 The last ARRA project is the Imperial Valley
19 Solar, which was being developed by AES. It was approved
20 in September of 2010 and an order terminating the decision
21 to license it was approved by the Commission in August of
22 2011. It had to do with Sterling Engine Systems going
23 bankrupt and the project being reconsidered to undergo
24 conversion to 100 percent PV.

25 While financing renewable projects continues to

1 challenge developers, no one can dispute that ARRA funding
2 was an essential component leading to the successful
3 launch of numerous renewable energy projects.

4 Please welcome the panel of guests representing
5 a cross section of companies with successful as well as
6 unsuccessful ARRA funded projects and who graciously
7 accepted invitation from the Energy Commission to share
8 the their experiences getting their renewable projects
9 from groundbreaking to completion.

10 So let me introduce Scott Busa who's the
11 Director of Business Development for NextEra and they have
12 the Genesis Project in their portfolio. Scott Galati a
13 partner with Galati Black who was representing Solar Trust
14 of America in their bankruptcy proceedings and is also
15 currently representing Calico for K Road but is here not
16 representing anybody. He's here to talk generally about
17 solar projects and financing. Right? Randy Hoyle, Senior
18 Vice President from TerraGen Wind, which is represented by
19 the Alta Wind Project that received ARRA funding. Hunter
20 Armistead, an Executive Director with Pattern Energy who
21 has a successful Patched Ridge Wind Project that also
22 received ARRA funding. Chris Ellison is a partner with
23 Ellison, Schneider and Harris. Chris is here representing
24 the Abengoa Solar Project. And on the phone, representing
25 BrightSource Energy in place of Joe Desmond who got sick,

1 is Keely Waugh who is the Senior Director of Corporate
2 Communications. And they're representing the Ivanpah
3 Project.

4 I have three questions on my panel if you'd - do
5 you have anything to add, Commissioner Peterman?

6 COMMISSIONER PETERMAN: Thank you, Felicia.
7 First of all, thank you for that comprehensive
8 introduction. As one of the sitting Commissioners who's
9 not here during the - when the ARRA cases were brought to
10 the Commission, I have a little bit less familiarity with
11 some of your project and so as you talk about them it
12 would be good also for everyone just to distinguish
13 between them just as you reference them, just to make a
14 note again of whether that's a project that's currently
15 started construction. If not, when. And looking forward
16 to your responses to these three questions as well as
17 we've been spending the day talking about financing and
18 what's needed in this space. And so, after those first
19 initial questions are addressed, I'd welcome any of your
20 thoughts about activities the Commission can engage in
21 going forward to facilitate the development of projects,
22 particularly the financing or other things that we can
23 recommend as part of this strategic plan.

24 Just as reminder the follow up from this
25 Workshop as well as the other six Workshops as part of the

1 strategic plan will be to develop some actionable steps.
2 Things that are going to be necessary, maybe not overly
3 sufficient, but necessary to meet the 2020 goals in
4 particular. And we have an expert panel here and I'm
5 looking forward to the discussion.

6 MS. MILLER: Great. Let's start off with our
7 first question and for my panelists the questions are
8 posted up on the wall.

9 So if you'd like to lead off the discussion,
10 Scott?

11 MR. BUSA: Sure. There's two of us. So Scott
12 B.

13 MS. MILLER: Scott B.

14 MR. BUSA: Again, I'm Scott Busa with NextEra
15 Energy and we have - currently have the Genesis Solar
16 Thermal Project, which is under construction. And I do
17 want to mention too that we also at the same time that one
18 was approved we had the Beacon Solar Project that was also
19 undergoing Commission review. And that project is not
20 under construction. It's on hold right now.

21 I think the point I want to make on planning
22 efforts are necessary is really a timing issue. That
23 planning for Genesis, for example, goes back to 2007. So
24 these are long-term projects that took, you know, several
25 years of planning before they were brought to the

1 Commission. We quickly made it through permitting which
2 we're thankful for and then the startup of construction
3 and the actual construction period is extremely lengthy in
4 these large solar projects.

5 But just to say that even pre-ARRA the planning
6 had to take place for the Genesis Project, in particular
7 that planning involved, you know, where we would place the
8 project, the land for that and it also involved an early
9 interconnection request. Even before the cluster studies
10 were done, Genesis was one of the applicants in the old
11 serial interconnection. And so that was, again, placed in
12 late 2007, early 2008. It was transferred over to the
13 transition cluster so really you're just talking about a
14 project today under construction that was part of the, you
15 know, early transmission cluster studies. And that was
16 key to bringing the project to where it is today. And
17 today looking at the where we're at, you know, with the
18 fifth transition cluster and now moving on to the sixth or
19 I'm sorry, the sixth cluster study. Those are for
20 projects that are probably post-2020, in my opinion.

21 Right now we're dealing with projects that were
22 planned a long time ago. So early planning is, I think,
23 key to the success of Genesis.

24 COMMISSIONER PETERMAN: And Scott, can you just
25 share, what was the total amount of our cash grant and

1 what was that in terms of, you know, relative to the
2 overall project cost?

3 MR. BUSA: The project qualified for one of the
4 loan guarantees under the existing technology. It was not
5 an innovative technology. It's a solar thermal project.
6 And that was approximately about \$850 million of guarantee
7 from the DOE. And they guarantee about 80 percent of that
8 number is actually how that program works.

9 The project will also qualify for the
10 Convertible Income Tax Credit, which is about 35 percent
11 of the project cost and publicly the Genesis Project is -
12 installed costs is just over \$1 billion, about \$1.1
13 billion.

14 MR. GALATI: Scott Galati. I'll go ahead and
15 speak. I have a different perspective, a bit of a
16 different perspective. In working with several clients
17 and bringing projects from early planning stages through
18 interconnection through permitting to PPA negotiation and
19 being part of that team but not certainly the initiator of
20 any of those objects. So I probably can't answer a lot of
21 specific questions about individual projects but I will
22 give you a little perspective about planning efforts.

23 And you'll see a common theme in underlining all
24 three of my answers to these questions. And the
25 underlying theme is is how do you deal with uncertainty?

1 The more uncertainty there is the ore difficult that it is
2 to plan. I know with these projects, for example, the
3 Solar Trust projects, the Blythe Project, the Palen
4 Project and the Ridgecrest Projects all started in 2007.

5 If you think of what happened between 2007 and
6 the time that they were licensed there's a wholesale
7 change in the way that we do transmission studies. There
8 was a change in how we did permitting. There was the
9 ability for ARRA funding. There was a change in
10 procurement policies. And so part of me welcomes when an
11 agency, such as the Energy Commission or the PUC,
12 undergoes these kinds of studies to come up with better
13 ways to do things. And part of me also says I wish
14 there'd be no more studies so at least there would
15 certainty, even if it's bad certainty.

16 And I think that's part of the – that would be
17 the one thing that we would do in retrospect is many of
18 the developers of these, of the projects that I worked on,
19 were technology creators, they were innovators. They were
20 people who came up with a technology. They weren't
21 necessarily energy developers. And I think that many
22 industries start that way. Where the innovator takes what
23 they've created and then tries to put it into action. And
24 the problem with that is especially in California a
25 very experienced developer is necessary to take what an

1 innovator wants to do and plug it into how California
2 works.

3 I think that the industry has very much matured
4 in that way. I think that the innovators have become
5 knowledgeable and I think that developers have stepped up
6 to take innovative technologies.

7 So I think that's probably nothing anybody could
8 really do. I think it's a natural thing. But what I
9 think what ended up happening is that those innovators
10 were not part of the planning. They were not
11 participating, I think, meaningfully in a lot of the early
12 efforts as to where to put projects, where transmissions
13 should be because they were very much used to some other
14 places and some other states or other countries in which
15 those issues were resolved already or they weren't influx.
16 Nobody knew they had to solve them. So there was some
17 certainty in that.

18 So, again, what I advise clients whether they
19 are innovators or they are developers is that they have to
20 participate in forums and in helping to shape policy, even
21 if they have no effect on the policy. Just so they know
22 what changes are coming up because it's that uncertainty
23 that I think has been the number one obstacle to some of
24 the projects being successful.

25 The Solar Trust of America Blythe Project

1 qualified for the loan guarantee. At the last minute it
2 decided not to take the loan guarantee and to not enter
3 into that agreement because at that time the cost of the
4 project and the PPA and where it was in its development
5 just didn't make sense at that stage.

6 So I think what you're seeing, at least what I'm
7 seeing with some of those projects that were not
8 successful from a solar thermal is they are taking
9 advantage of becoming more technology neutral and
10 switching to PV. And when I say technology neutral I mean
11 which panel or which panel manufacturer and they are
12 proposing to change these projects. I know the Blythe
13 Project will be taking advantage of the SB-226 and will be
14 filing an amendment in the same way that Calico is for 100
15 percent PV project.

16 That's kind of my perspective and, again, there
17 is one other thing. I don't think people realized after
18 the time you got your permits, whether it be federal,
19 state or local, how long it make take before you actually
20 get the authorization to move dirt. And so there is a lag
21 time that I think you'll see in my recommendations down
22 below that might be able to add some additional certainty
23 in that area.

24 COMMISSIONER PETERMAN: Thank you, Mr. Galati.
25 I'll note that you pointed out, you know, another type of

1 uncertainty, which you maybe weren't explicitly calling
2 out which is just uncertainty around technology costs and
3 competing technology costs. And that's an uncertainty
4 that the state also faced with solar thermal projects and
5 having the companies then become technology neutral and
6 one of the questions that I brought up in our cost
7 Workshop was what's the difference in both the overall
8 cost then for the projects. When we think about
9 integration costs I expect that they'll be different
10 between solar PV and solar thermal, and then how do these
11 resources now fit into the - our energy needs overall in
12 terms of the mix of resources and the attributes we need
13 to provide.

14 But thank you for your comments. Those are
15 helpful. And I think, also, that they speak to some of
16 the issues we'll have to think about with technologies
17 that are less commercialized. We've had these experience
18 now with solar thermal and you have the innovators who
19 have turned into energy developers. But as a cautionary
20 note for other technologies that want to scale up that the
21 value of doing the same or partnering with an experienced
22 energy developer.

23 MR. HOYLE: Yeah. Good afternoon. My name is
24 Randy Hoyle.

25 COMMISSIONER PETERMAN: Good afternoon.

1 MR. HOYLE: I'm Senior Vice President and Head
2 of Wind and Solar Development for TerraGen Power.

3 I guess the inexperienced people on the wind
4 side are two guys in an Avis car, you know, but the
5 inexperienced solar are two guys in a Mercedes. So. Just
6 a little humor there.

7 We actually at the end of the year will have
8 constructed and brought and serviced 1320 megawatts of
9 wind energy. They comprises up nine projects at the Alta
10 Wind Energy Center in the Mojave region in Kern County,
11 1,020 megawatts of those are already in operation. Just
12 earlier this year we raised another \$650 million for a
13 total of \$2.85 billion that we've raised to date. And
14 it's really one of the best kept secrets. I think not a
15 lot of people are aware of those numbers. You know I
16 think in Kern County wind investment by the end of 2012
17 for the last three years will be approximately \$5 billion.
18 That will result in approximately \$60 million annually
19 increase in property taxes to Kern County.

20 Just TerraGen's projects alone represent 2,047
21 construction jobs. That's direct, indirect induced. And
22 then during the operating trade approximately 600 jobs.
23 Not to mention that we've, at the end of 2012, we
24 contributed \$178 million in state sales tax to California.

25 I guess on the first comments on what's been

1 successful, you know, we have benefited obviously from the
2 RPS. Another thing is transmission planning.
3 Transmission Project, a \$1.8 billion investment by
4 Southern California Edison received upfront funding
5 approval not only from FERC but also backstop authority
6 from the CPUC. Having that be upfront funded by the
7 utility is key. If those costs were put on the generators
8 I don't think you'd see as much progress as we've made
9 today. I think the California Executive Office is also,
10 you know, from two administrations in the last four year
11 have been extremely supportive.

12 Kern County, one of the things that we did – one
13 of the reasons that we sited the projects there is because
14 Kern County had experience with CEQUA. None of the – even
15 though I think 7 of our 490 turbines are on federal land
16 we went through in a matter of three years, actually about
17 four years, three separate CEQUA documents for basically
18 \$2.85 billion of investment.

19 We focused on private land. I think that if
20 we'd have focused on public land we would not have been as
21 successful. You know, we didn't benefit from the 1603
22 program. Just round numbers, about \$900 million of the
23 \$2.8 billion and we stayed away from the Federal Loan
24 Guarantee Program. We think that that way key to
25 execution as well.

1 We would have gone through an extra step to
2 achieve NEPA coverage and the delay and the benefit just
3 wasn't there from the Federal Loan Guarantee Program.

4 I think the last thing is I also lead solar
5 investment and Hunter talked about it a little bit. But
6 the one thing that I can say about wind even though it is
7 intermittent is its tried and true technology. Banks are
8 comfortable with it. Equity is comfortable with it. The
9 transaction structure – actually the financing transaction
10 structures we did – we did three different types of
11 transaction structures here. We had a single investor
12 lease on one project. One four we had a sale-lease back
13 transactions. And in each of them we had construction
14 financing and we even monetized some of the assets and
15 sold them to strategic investors.

16 We ran the gamut but all of those avenues were
17 available for the project and multiple avenues were
18 available for us to finance. And part of that is tried
19 and true technology. I know what, you know, we have a 400
20 megawatt PPA backlog and all it's waiting on is some
21 federal action but we believe that we can deliver about
22 another \$800 million of investment next year. And I know
23 what price we can deliver that for.

24 COMMISSIONER PETERMAN: So just a follow up
25 question, Randy. You said that you also have experience

201

1 in developing solar. So regarding your comment about the
2 banks being comfortable with wind and being able to do the
3 three different types of transactions. So with regards to
4 solar, where is their comfortability level relative to
5 wind? And what do you think it'll take to get it close to
6 that?

7 MR. HOYLE: Well, right now in our portfolio we
8 have – by the end of the year we'll have 1320 megawatts
9 constructed. By the end of 2012 we will have 0 megawatts
10 of new solar in the ground. And it's, I think Hunter
11 alluded to it earlier, the – right now the issue is
12 pricing. I mean who's going to do a deal at \$0.07? We
13 just don't think that that is reasonable. We can't, you
14 know – first of all, before you get the banks involved
15 equity has to have a return somewhere. And we just, you
16 know, we just have not been able to make it work from an
17 equity perspective. And some of that's timing because if
18 you see the 2010 and the 2011 vintage PPAs we think that
19 those are some of the PPAs that won't get built. And some
20 of the PV that's going to get built benefited from 2009
21 RFO prices and they benefited from a substantial reduction
22 in panel pricing. That's primarily why those things are
23 going to get built. So.

24 We just had trouble from an equity perspective
25 in making it work. I know some other people have had

1 success, you know, when it came to allocating capital we
2 elected to put it in a, what we considered, to be a low
3 risk area.

4 COMMISSIONER PETERMAN: And so in your comments,
5 specific to solar thermal and not to solar PV, then.

6 MR. HOYLE: I think they apply to solar PV as
7 well.

8 COMMISSIONER PETERMAN: Okay. I'm just
9 thinking, then, regarding the comment about – so are you
10 referring to solar PV that was pre-2009? Is that your –
11 Because I'm thinking that everyone should be able to take
12 advantage of the lower module cost, for example. And just
13 wondering what's not competitive at the \$0.07 offer price?

14 MR. HOYLE: It is my opinion that thermal and PV
15 technologies are challenged at \$0.07. That's what we
16 believe.

17 COMMISSIONER PETERMAN: Well, that's why we have
18 you here. To give your opinion. So appreciate that.

19 MR. HOYLE: But, you know, the pricing back in
20 2009 is not available now. So not everyone could
21 participate. Some people ended up signing PPAs and things
22 actually went their way and now they can build them and
23 that's fine. And that's how it works out. So.

24 MR. ARMISTEAD: I'll go ahead. I'll go through
25 the questions but I can comment a little bit too on the

1 technology because we've looked at solar thermal. We're
2 actively working on PV projects and we have wind projects.

3 Just to build on – we do have one project that
4 went commercial in 2000 – roughly 2010 and that was the
5 Hatchet Ridge Project that did take advantage of the 1603
6 and the grant. And that was a – and that project is fully
7 operational. It was a very successful and, frankly,
8 probably would not have happened if you had looked at the
9 time when this was financed without the stimulus money.
10 The ability to finance the PTC's, or the Production Tax
11 Credits, that were available to wind basically disappeared
12 in that timeframe. And so absent the stimulus occurring
13 it's very likely – cause one of the things that I would
14 comment on that is – it makes – it requires a very savvy
15 developer is if you think about development it's a bit of
16 a race on like four fronts. You usually have some timing
17 endgame that's going to kill the project. Like the PPA is
18 going to expire. You're not going to be able to utilize
19 the interconnection in the right time. You'll have a
20 permit that's going to have to be completed at the right
21 time. It's an extreme balancing act of managing, like,
22 four different things to occur and all to happen within
23 the window when it's allowable for you to build your
24 project.

25 California is – we develop projects, as does

1 Randy and TerraGen, all over the country. In fact, in
2 Chile and Canada. And California has to be considered one
3 of the most difficult and challenging places to operate.
4 And I do think that ultimately I agreed with a little bit
5 of the comment on some of the – one of the real issues
6 with solar PV development has been is that the barriers to
7 entry are relatively low and has resulted in, you know, I
8 think that's why there's so many applicants that you have
9 out there. And we'll see how it all shakes out. I think
10 that's a comment observation.

11 Technologically though, it is a lower risk. I
12 would say as it relates specifically to PV, you can
13 certainly attract debt to that very – it less – with lower
14 risk than even wind because the production risk is less.
15 The biggest issue that you end up having right now is it's
16 an interesting way of talking about technology risk
17 because what people started responding to is that they
18 weren't responding and getting PPAs based on where they
19 thought the cost of building was today or even the cost
20 they thought they could get a contractor to bid in the
21 future. Because no contractor would say that I want to
22 bid it for \$1 today and \$0.50 tomorrow. What they did was
23 they said, I really – we're going to play the game and see
24 if it works. We're going to bid at this level and hope
25 that the cost came down.

1 And then a lot of people were successful and a
2 lot of those projects are getting done.

3 So going back to my questions because I got a
4 little bit off topic here. We do have a second project
5 right now that is actually just entering construction down
6 in Southern California. It is on federal lands and if you
7 really want to add a fourth dimension to the chess you get
8 to play in California, add the BLM and the Native American
9 area developed in Southern California. And you would say,
10 "Why in the world would you ever want to do this
11 business?" Because it is incredibly difficult to manager
12 this whole process to get this to conclusion.

13 And it is why you do see, in California, revenue
14 – there's two big reasons why I would say you see PPA
15 pricing higher in California than you do in other places.
16 One is the difficulty of basically managing that balance
17 that I just mentioned and the uncertainty that you might
18 actually have success on one and fail on another one. And
19 then believe it or not is the sales tax. There's just not
20 that many places where you build wind where you have to
21 pay the full rate on the sales tax. That's just a – that
22 just adds a few dollars to whatever you do out there.

23 So right now we're building another project that
24 is just entering construction and has to be done by the
25 end of this year. It is extremely exciting, as I guess I

1 would say, to try to build a 500 kV switch yard and get up
2 a 265 megawatts of turbine in the next 7 months. We have
3 every expectation of doing it.

4 So you're looking at what the stimulus has done.
5 It did stimulate. This project wouldn't have been done,
6 you know, without having access to that and we have a
7 window right now to other close it. If you, you know, the
8 question is what would you have done differently? The
9 flippant answer, in some cases, is maybe in some cases we
10 just shouldn't have done it. It was just too hard, you
11 know, to get – if I would look back and say, "As hard as
12 we thought it would be it was harder." And have an
13 appreciation for as long as we thought it might take, it
14 takes longer. And that is, even that is said from a
15 developer who's developed, you know, we've done 3,000
16 megawatts in the past eight years.

17 COMMISSIONER PETERMAN: Obviously there's a
18 learning curve that developers and the state and the local
19 agencies had to go through with siting these projects.
20 You noted that the project was harder then you
21 anticipated. Do you think the next one will be easier?
22 Just trying to get a sense of how much of the knowledge
23 we've gained in this process will be transferable and make
24 the process easier going forward or if there are just some
25 inherent time and cost that are going to be inherent with

1 each project that you don't get benefits from in scale?

2 Your thoughts on that?

3 MR. ARMISTEAD: I think that as a developer yes.
4 It's funny. Maybe we're just gluttons for punishment.
5 We've had experience doing this hard work before. That
6 means we're - we actually think we can do it again. And
7 we think that others - but I do think that others don't
8 know. How can you not - how can you know what you don't
9 know. And you can't know what you don't know until you've
10 learned what you didn't know. And that sounds all
11 circular and screwed up but it's the reality of
12 development. I would say the most - one process worth
13 commenting on right now that has just been so evolutionary
14 has been, effectively, the interconnect process and what's
15 gone on with the CAISO and what's gone with these net
16 deliverability upgrades. It's such a mystery, you know,
17 and we're in it. And so to be able to - and so I do feel
18 like things are improving and I think that with more
19 projects that have been done like we've done a few
20 projects on federal lands and there's a greater knowledge
21 base of what it takes to make your way through with
22 everything that gets more done. But I do think that there
23 will - unless you have done it before it is very hard to
24 expect that someone is going to make it through a process
25 as complicated as it is to do, I know what you've done at

208

1 Alta or what we've done at other places.

2 Some of the solar PV a little bit easier,
3 frankly. It is simpler but you're still going to have
4 issues.

5 COMMISSIONER PETERMAN: And I'll note you in
6 response to the question you noted that the question says,
7 "What would you have done differently?" And so I want to
8 give you an opportunity to tell us what we should have
9 done differently and by we being the collective whether
10 the Energy Commission or the various bodies that you've
11 touched upon or the local agencies. And I'll note that
12 there is a siting lessons learned process that's ongoing
13 at the Commission, which those who work more with the
14 Siting Division get to speak to. So we're aware of some
15 of the things now that we would do differently in terms of
16 helping to facilitate these projects but welcome your
17 thoughts. And when the other panelists go to answer the
18 next questions, also welcome your thoughts as well.

19 MR. ARMISTEAD: You know, in some cases – and
20 maybe the Commission can't do this and maybe this isn't
21 the right way to answer that question but in some cases
22 you ought to tell people don't build your project there.
23 You know, it's going to be too hard, you know. And I do
24 think that, especially with some of the wildlife issues
25 and the sensitivity issues, you know, somehow the area

1 where you can actually accomplish a siting of a facility
2 of the size that we're talking about and a lot of these
3 projects – sometimes it's really just not worth the
4 journey.

5 COMMISSIONER PETERMAN: Thank you, Scott.
6 Sorry, Randy. Did you want to answer that?

7 MR. HOYLE: Yeah. I would just – if there's one
8 piece of feedback it's when you start getting into state
9 agencies, federal agencies. It's very – if you're dealing
10 with a county you know who you're dealing with. You're
11 dealing with the Board of Supervisors and you're dealing
12 with the County Planning Director. So you're – you can
13 negotiate with someone. It is very hard to understand, at
14 least on the state side of some of the agencies, and the
15 federal side. Who do you negotiate with? You can talk to
16 people in Washington. You can talk to people in the
17 California state offices. You can talk to the people at
18 the working level, the biologists and yes it's everyone
19 wants it but how do we get through the process and who can
20 make the decision. And sometimes that's very hard to
21 find. If I wanted to do a deal with Hunter, I call Hunter
22 up and we talk and we negotiate. Sometimes it's very,
23 it's very difficult to understand that on the federal and
24 the state side.

25 We have all the contacts. It's just how do you

1 get to a decision?

2 MR. GALATI: I'd like to add a little color to
3 that too. I agree with what you're saying and that's all
4 true until the county changes. And so there are some
5 counties that don't behave like other counties.

6 MR. ARMISTEAD: That's true.

7 MR. GALATI: And it happens at the state level
8 as well. Sometimes it's easy to have a conversation, then
9 something changes and it's hard to have a conversation.
10 So, again, that was what I was trying to get to with the
11 concept of certainty. It takes strong leadership to stay
12 consistent. And it's very easy to not consistent,
13 especially with the different stakeholders and players
14 here.

15 And I'll just give you a perspective and I know
16 that this is a Siting Lessons Learned – a lessons learned
17 siting but here at the Energy Commission 1950 megawatts I
18 worked on, I had projects completely on private land. I
19 had projects on public land. I had projects in the middle
20 of nowhere. I had projects right next to a city. I had
21 projects – no single project had any local opposition and
22 yet I didn't get an outside group to support a single
23 project. No matter what mitigation was done. No matter
24 what land was chosen. No matter what technology was
25 chosen. So it is that environment in which we live and I

1 think the purpose of government, be it local or state, is
2 to provide us certainty in that environment. Because,
3 trust me, the financing community sees that and while I'm
4 not a financing expert, I can give you a little anecdote.
5 And that is a project, exact same technology in California
6 on private land, exact same technology in Nevada on public
7 land. They were applying for a DOE loan guarantee and the
8 DOE loan guarantee in the early stages was trying to rank
9 the risks of the relative projects and the project in
10 Nevada got a high ranking on the idea of government
11 certainty. And in California the initial assessment was
12 the same rating as the country of Angola due to the
13 possibility of a governmental coup. And I thought that
14 was a joke when I first heard it and then I saw it written
15 by a DOE, the score, and we compared it. And it was. Now
16 it got changed but that is the initial assessment by
17 people who don't understand California. And the worst
18 part of that is when they try to understand California it
19 gets worse before it gets better. It takes a long time.

20 That is - I know that's getting into question
21 three but that's - apologize Chris, I know it's your turn.

22 COMMISSIONER PETERMAN: They all - Chris, we
23 will get to you. Don't worry. We could not forget about
24 you.

25 Scott, I just wanted to make sure I draw the

1 correct points between the last comment you made. So your
2 first comment was that regardless of the project you're
3 not able to get an outside group to support it. So your
4 meaning is community groups, citizen groups - I'm trying
5 to make the connection between that and then the comment
6 about the certainty need you provided on the government
7 side.

8 MR. GALATI: I think that in California we tend
9 to wed ourselves to the process instead of wedding
10 ourselves to a result. And I tend to believe it takes
11 strong leadership to say, "Enough process and let's get an
12 appropriate result." And I think that a perfect example
13 is when there is opposition to a project with no basis
14 with some larger planning goal, not a specific project
15 basis, it takes strong leadership to say, "We're going to
16 cut through that and we're going to provide a result."
17 And whether it be at the county or the state it takes that
18 kind of leadership. Apparently, I think that kind of
19 leadership is happening in Kern County and it sounds like
20 there's been great success there.

21 That's all that I would say is that if you're
22 crafting something that ultimately it's that kind of
23 leadership that makes it a far bigger difference than in
24 fixing the process.

25 COMMISSIONER PETERMAN: Thank you. I think one

1 of the things though that I'm constantly weighing in my
2 head is transparency and efficiency. I think there's some
3 trade-offs between the two and when I think about the
4 process, albeit in places broken, I think one of the
5 objectives you hear a lot of times is being transparent
6 and a lot of opportunities for public involvement and that
7 comes at the expense of how quickly you can get the
8 process done. But I think your points are heard and well
9 taken.

10 MR. BUSA: Commissioner, if we're moving
11 backwards I would like to comment that -

12 COMMISSIONER PETERMAN: Yes, we are. This like
13 a game of Uno. We're never going to get to you, Chris.
14 Go ahead.

15 MR. BUSA: Actually, I'll roll him into my
16 comments here, too. We're talking about certainty and one
17 of the things that NextEra has had a problem with for a
18 long time and it actually goes back to some early IEPR or
19 the I-E-P-R proceedings. Both with fossil plants before
20 the Commission many years with our Beacon Project and with
21 our Genesis Project all three of those were proposed
22 examples of what could work. And call us stupid but in
23 all three times that we tried to do that we've been
24 rebuffed either by staff or by the Commission. None of
25 them ever actually ended up being a wet cool project and

1 two of them did get granted a license for recycled water
2 and Genesis, the final one, is a dry cool one. But the
3 water policies that come out of – or early IEPRs are not
4 necessarily consistently applied, in our belief.

5 And we spent a lot of time, a lot of our own
6 time, a lot of money and a lot of the Commission staff's
7 time trying to figure out what the water policy actually
8 is. And as kind of a – what we found was to be an
9 inconsistent decision and I'll turn it over to you Chris,
10 the Abengoa Project was actually a wet cooled solar
11 thermal project, which was something that we weren't able
12 to achieve no matter how much mitigation planning that we
13 proposed for our three project examples that I've had
14 experience with here. That's one specific example that
15 I'd love to see some clarification on through the IEPR or
16 other Commission policies is wet cooling.

17 COMMISSIONER PETERMAN: Thank you for that
18 point. I think you've touched upon a couple of things.
19 One, that in these IEPR proceedings we cover a lot of
20 issues at the policy level and making sure that that
21 policy consensus or engagement with it that we've had from
22 various comments have been provided by the public and
23 stakeholders then gets translated into our more specific
24 policies. Particularly with the siting cases and that's
25 not precedential, those cases, as we've talked about as

1 surely but acknowledging that having some consistency is
2 good. I'm also guessing you didn't hire Chris Ellison for
3 it though. But we'll turn to him and see how he managed
4 to make things happen -

5 MR. BUSA: I had Mr. Galati here as my
6 representative.

7 COMMISSIONER PETERMAN: I have no preference for
8 either. Mr. Ellison, please.

9 MR. ELLISON: All right. That's a great
10 introduction I have to say, thank you.

11 Well first of all I'm Chris Ellison. Ellison,
12 Schneider and Harris on behalf of Abengoa Solar. Erin
13 Bradley could not make it today and apologizes. Something
14 came up. We very much appreciate the opportunity to be on
15 the panel.

16 I'm going to try and be very brief, although
17 there's so much that there's been said that I would love
18 to talk to. And we will submit some written comments that
19 I'm going to summarize.

20 Before I go any further though, since it's fresh
21 in my mind, let me say one thing about the water policy
22 issue. In that case, in the Abengoa case, it did end up
23 with the Mojave Solar Project being allowed to do wet
24 cooling but in order to do that they were required to
25 surrender ground water rights in addition to the water

1 they were proposing to use as mitigation for the water
2 that they quote/unquote consuming.

3 This occurred in an adjudicated water, ground
4 water, basin with a state court decision that had already
5 allocated water rights to the project. And, in my
6 opinion, when we get to the question of what would Abengoa
7 have done differently if it were to do something in a
8 different context, and I'll touch on this in a minute.
9 Abengoa, I believe, would have contested more than
10 anything, the water decision. Of losing their adjudicated
11 ground water rights in order to permit a project. And
12 that's a much longer discussion but that's what happened.

13 Abengoa's Mojave Solar Project is fundamentally
14 a success story, both for the Commission and for the
15 company and, I believe, for the state and for DOE. With
16 respect to the planning that went into creating that
17 success, it's under construction now –

18 Let me back up. It's a 250 megawatt thermal
19 solar project, located on private land. It's immediately
20 adjacent to the 1980s LUZ SEGS solar project, so there's
21 already solar thermal at that site. It had, essentially,
22 no desert tortoise issues. It was previously disturbed
23 private land. It was sort of an optimal place to put this
24 kind of project. It was filed on October 21, 2009. It
25 was permitted in 10.5 months and made the ARRA deadline.

1 One of the things that contributed to that
2 success, I think, was the planning that went into choosing
3 the site and choosing the technology. Another thing that
4 contributed to the success, I think, was the ARRA
5 deadline. There've two times in my - I've been doing this
6 at the Commission or before the Commission before 1978 and
7 there are two times in my experience when the Commission,
8 apart from its statutory 12 month deadline, has had a
9 sense of urgency and a deadline that it had to meet. In
10 this case it was ARRA. During the energy crisis it was
11 the energy crisis.

12 And I think it would be a quite interesting
13 exercise, actually, to go back and look at the projects
14 that were licensed more expeditiously than perhaps might
15 have otherwise occurred under those timeframes and compare
16 them to projects that were licensed over a longer period
17 of time. I think, but I don't know, that the answer that
18 you would find is that the shortened licensing times did
19 not result in any compromise of compliance with the law or
20 any compromise on environmental protection.

21 I'm quite confident that's true for the Mojave
22 Solar Project. The project is now under construction.

23 The other point that I would emphasize is that
24 the urgency of the ARRA deadline and the Commission - I
25 can't say strongly enough that Abengoa commends the

1 Commission for getting those ARRA cases, not just
2 Abengoa's case but getting them all done within that
3 timeframe. Staff and the Commissioners worked
4 extraordinarily hard to do that and I think that's an
5 important point that none of us on the development side of
6 the table should forget.

7 But I think it's also important for the
8 Commission to understand that one of the reasons and
9 particularly the Abengoa case was accelerated is that the
10 applicant was also under a deadline and knew that their
11 opportunity to contest issues was equally constrained.

12 I know Staff has sometimes felt, you know, in a
13 perfect world they might have done things differently or
14 perhaps taken tougher positions on certain issues. I
15 think it's important to remember that the applicants were
16 also feeling that and the water issue is an excellent
17 example of a situation where Abengoa chose not to accept
18 staff conditions but it fundamentally disagreed with in
19 the interest of meeting the deadline. And so the case
20 moved more quickly because everybody involved was willing
21 to compromise on issues and in order to get things done.
22 And I think that spirit set an example that the Commission
23 may want to take a hard look at.

24 With respect to the obstacles and challenges
25 that the projects are facing, we have had a good working

1 relationship with the Energy Commission's Compliance
2 Staff. For the most part it has gone quite well. There
3 was one outstanding issue, it was really the only
4 contested issue in the case, and it had to do with
5 payments to the county for fire protection. And what the
6 Commission did in a quite elegant way. I think the
7 Committee - Commissioner Eggert and Commissioner Boyd and
8 the Hearing Advisor Vaccaro actually came up with a
9 solution that wasn't proposed by any of the parties. That
10 was really quite elegant and it basically said we're going
11 to impose a condition that says the parties, the county
12 and the applicant will continue to negotiate post-
13 licensing, try to reach an agreement. If you can't reach
14 an agreement, we'll have an independent study of what the
15 costs are and we'll basically create a way to bring it
16 back to the Commission and resolve it. And that's exactly
17 what has happened. We did do the independent study. They
18 did come up with a number. And so that's sort of the one
19 outstanding compliance issue. I shouldn't say it's the
20 only one. There have been some other ones too but that's
21 been the largest one. We are optimistic that we're going
22 to reach an agreement with the county soon but there have
23 been a couple of recent hiccups in the road, I would say,
24 with respect to compliance issues and the main message
25 that I was asked to say on that, and this is really the

1 only negative message, is that we think it's – and this
2 gets to the point that's been made about certainty and how
3 critical that is for the development of these projects,
4 especially in California with all the moving parts. I
5 concur with almost everything you've heard today.

6 Once you get a permit decision, you know, for
7 better or for worse or for right or wrong I'm sure, you
8 know, if I could go back and change decisions I'd change
9 things in them. I'm sure staff would like to go back and
10 change things in them. I'm sure interveners would like to
11 change things. But once you get a decision it's that
12 written decision that should govern. And that should be
13 certainty with respect to financing and everything else
14 that comes after that. That people aren't going to try to
15 change the conditions. If you go through an amendment
16 process that's one thing but interpretation of conditions
17 or imposition of requirements that aren't actually in the
18 decision on some occasions have been a bit of an issue for
19 Abengoa. And those create a tremendous amount of
20 uncertainty and particularly, and this is the last point
21 that I would make, once you start construction your burn
22 rate for money is tremendous compared – it's a very
23 different environment with what the Commission sees in its
24 permitting process; although there's money being spent
25 there too.

1 Hiccups that occur, and hiccups is probably the
2 wrong word, but anything that threatens to stop
3 construction. Anything that threatens to upset financing
4 once you're out there on the ground is an extraordinarily
5 high consequence for these projects and for the
6 Commission. And so the Commission's compliance office
7 tends to sort of operate, for the most part, again very
8 well but it tends to operate in an environment where the
9 consequences are often higher than what people may
10 perceive. We did run into a bit of a problem recently
11 that the bad news is that staff issued a letter
12 incorrectly claiming that Abengoa was not in compliance
13 with its permit. Abengoa is under an obligation to report
14 that with five business days to DOE, which would have
15 potentially upset the financing during construction. It
16 was a very high consequence situation. The good news is
17 that staff corrected the problem very, very quickly when
18 we brought it to their attention. In the end it's finding
19 but those kinds of issues have potential consequences.
20 Thank you.

21 COMMISSIONER PETERMAN: Thank you. There's a lot
22 in your statement for me to reflect upon. I'll just make
23 a comment or two but the Chair may want to say something
24 since he's closer to the overall siting policy process.

25 I think you raised a good point with your

1 experience since '78 and seeing how certain projects have
2 moved more expeditiously than others. I guess I would – I
3 think that type of evaluation is useful although I would
4 caution doing it without really looking at not only the
5 permitting process but also the compliance period because
6 ultimately how these projects perform, no matter what
7 their permitting timeline is, will depend on how they
8 perform during the compliance period and a more expedited
9 process does leave some more issues perhaps to be
10 addressed during the compliance issue.

11 And I'll also say that I commend the project
12 developers and the staff who worked on those expedited
13 timelines for ARRA. At least I know from the Commission
14 perspective that meant a lot of weekends lost, evenings
15 lost and unnecessary when it's subject applicant or staff
16 to that type of burnout, if you will. But notably it does
17 show what can be done with that pressed timeline.

18 CHAIRMAN WEISENMILLER: I was going to note a
19 couple of things.

20 First, coming out of that experience we did set
21 up a lessons learned process and that is getting closer to
22 surfacing at this point. Obviously, as we look at
23 modifications to how we do business and fundamentally
24 that's what we're looking for.

25 There are things that are relatively easy for

1 people to agree upon, like electronic filing, a no
2 brainer. Sort of like a no brainer and things that are
3 certainly much more complicated but we really intend to
4 get into the conversation. But one of the real challenges
5 – as you all know, we sort of picked a deadline and we met
6 the deadline and we did what we had to do to get that
7 deadline. That meant on some of the stuff where there
8 were complicated issues basically said we will deal with
9 this as part of the compliance process. And generally the
10 compliance area, I'd say, it's one which made a very high
11 priority in the sense that many of these projects had 300
12 conditions. Some of them were pretty straight forward.
13 Some of them were pretty up in the air that somehow once
14 you go into that construction fever and suddenly you've
15 got all kinds of people running around trying to make sure
16 that what was negotiated in the court room between your
17 attorneys and the staff and everyone, what does it mean in
18 the field in some way to make sure that, in fact, it's
19 happening in a fashion that gets your project built but
20 really minimizes the impacts on the environment at the
21 same time.

22 The compliance stuff is probably one of our more
23 difficult jobs, particularly in the sense, like I said,
24 what did we really mean there or what happens when you go
25 out in the field and you start finding stuff that you

1 didn't expect to find.

2 MR. ELLISON: That's absolutely right. And I
3 think it's not the fact that you have to work out problems
4 as you encounter them. You do. And I think the
5 Commission Staff does an excellent job of that. And I
6 think that applicants understand that. It's more the
7 question of when you embark on the legal process of
8 claiming non-compliance and what the consequences of that
9 might be.

10 If I could offer one other quick comment and
11 then I'll be quiet. On the issue of transparency, in my
12 experience, for what it's worth, one of the things that
13 makes the Energy Commission's process difficult for
14 interveners, and I have represented interveners, and
15 particularly for the public as interveners is the
16 legalistic and complex and time consuming nature of the
17 Commission's process. And I know that when we did the
18 Sutter Project, that was a project that went to the Energy
19 Commission in relatively ordinary time but it was also
20 required a zoning change from the county. And the very
21 same citizens that were opposing the project who I got to
22 know quite well were involved in both processes. And the
23 county's process consisted of a planning commission
24 opportunity and a three minute opportunity to comment and
25 a Board of Supervisor's meeting and a three minute

1 opportunity to comment. And the Energy Commission process
2 was as you are familiar with. At the end of it, I asked
3 these people which process did you prefer and almost all
4 of them, to my surprise actually, said the county process.
5 And the reason was that it was simple. They understood it.
6 And they didn't have to invest so much in it. They could
7 make their point, be heard and not have to devote a year
8 of lives' to it. So. For what it's worth.

9 CHAIRMAN WEISENMILLER: That's certainly one of
10 the things we're struggling with in the sense that for
11 better or worse off when interveners come in they're more
12 or less told you need to play Perry Mason to have an
13 impact. Most of them don't do that very well. They can
14 spend an enormous amount of time trying to do that or
15 becoming utility system experts 101 in that process. And
16 they don't particularly do a very good job in that but,
17 you know, trying to figure out a way to deal with comment
18 versus evidence. Again, make sure that public feels like
19 they're being heard in a way which doesn't require them to
20 go through all these contortions but still maintain the
21 rigor of our process. And that's the challenge.

22 COMMISSIONER PETERMAN: Thank you. So, Felicia,
23 I think we've really touched upon question two so people
24 can feel free to comment on it but I ask you to move to
25 question three because that's what we want. We want some

1 recommendations.

2 MS. MILLER: Commissioner Peterman, I have
3 BrightSource on the phone.

4 COMMISSIONER PETERMAN: Oh. Apologies. Please.

5 MS. MILLER: BrightSource, are you still on the
6 phone?

7 COMMISSIONER PETERMAN: Well, comment on, you've
8 heard a lot being discussed by the panel and the
9 Commissioners already so -

10 MR. WACHS: Keely. This is Keely from
11 BrightSource.

12 COMMISSIONER PETERMAN: Keely, please comment on
13 what you like.

14 MR. WACHS: So I thought that many of the
15 comments I heard here today are similar to those that we
16 would present as well. But I did have a couple new
17 concepts.

18 First, I want to thank you all for inviting us
19 to be on today's panel and Joe sends his regards. And
20 he's sorry that he couldn't be here.

21 The first thing, just wanted to hit a couple of
22 points on the first couple of questions. I think that
23 capturing everything I've heard here today. I think one
24 of the key things that's important in this process is to
25 think long-term. And I think BrightSource - we've got

1 1300 megawatts of contracts with PG&E and another 1100
2 with Southern California Edison. Ivanpah is our first
3 project and Ivanpah wasn't an ARRA recipient in the sense
4 that it received the 1705 loan guarantee from the DOE. It
5 was a \$1.6 billion loan guarantee. I think it's the
6 largest. It also qualified for the cash grant. In terms
7 of thinking long term, you know, a couple of the things -
8 why the project was successful, I think, were one is we
9 did bake in a considerable amount of time for the
10 permitting process. I think it took roughly three years
11 to get through the joint CEC-BLM review process. And our
12 experience has been while that was probably the longest
13 permitting experience of all the projects it was also the
14 first. And I think our feedback to the Commission would
15 be we do recognize that there was some - lots of learnings
16 going on and that the staff was genuinely committed to
17 improving the process throughout. So we're grateful and
18 appreciate of that. Nonetheless it did take three years
19 and there were some circumstances with Ivanpah that I
20 don't think necessarily applied to all projects but
21 nonetheless, you know, was quite a process.

22 The other thing that we did well was we brought
23 in good partners. So we had Bechtel which is, you know, a
24 world-class EPC contractor. They're building the project
25 for us. We also thought about impact so we not only

1 designed the project to be dry cooling using low water,
2 low amounts of water, but also having a low impact design
3 at a terrestrial level. The technology that we used did
4 not have to significantly alter the landscape on the site.
5 So it's a 3600 acre site and about, roughly, 20 percent of
6 the site is needed to be graded and needed to use heavy
7 civil work. The rest we're letting pretty much pre-exist
8 as it was before we got there. We're cutting down
9 vegetation but the vegetation is existing, co-existing,
10 within the field.

11 I think that the other thing that we did fairly
12 well is we look at transmission. I think transmission
13 today continues to be a challenge, obviously. But we
14 thought long-term in that process, worked with the off
15 takers. Both PG&E and Edison on the issues. And I think
16 that's been helpful at Ivanpah. We've got other projects
17 coming forward to meet the contracts with our off takers
18 but generally transmission is something that needs to be
19 considered.

20 I think the last thing and this was touched on
21 previously in the discussion here and it's kind of looking
22 at proven technologies versus innovative technologies.
23 And obviously we were conscious of the fact that we were
24 going to be deploying a new technology at Ivanpah.
25 Obviously, towers been around and other projects here in

1 the U.S. and globally but no one's done it at this scale
2 before. So at every potential opportunity we try to de-
3 risk a project so, again, that's bringing in world class
4 partners like Energy and Google as equity partners. They
5 could speak to the technology risk and assume some of
6 that. We think that speaks volume to the process and the
7 DOE itself went through - also went through a nearly four
8 year review process of the project. That also helped to
9 validate the technology. And we also proved it at our
10 demonstration facility in Israel as well as the facility
11 that we built for Chevron in Coalinga, California.

12 And then the other thing that we did at a
13 technology level is that looked to components we were
14 using in a project like this. And this is really
15 important for the financing community. If you look at the
16 boiler we use in our facility. It was low-risk because it
17 was basically an off the shelf, conventional boiler that
18 you would find in a typical power plant, just reversed
19 inside out which boiler manufacturers are willing to
20 provide warranties and guarantees on. As opposed to
21 adding new technology risk to the boiler.

22 So you know in terms of challenges, I think the
23 challenges of permitting are pretty well documented for
24 the Ivanpah project. Today it's about 1/3 complete.
25 There's 1700 construction workers onsite. They're

1 producing 500 heliostats a day, and that's two mirrors
2 each so that's a pretty big process out there. The
3 project's on schedule and on time. You know one of the
4 challenges, again, is we did find more tortoises onsite
5 then had originally been identified during the survey
6 work.

7 I think the staff at the CEC did a very
8 commendable job, kind of, working with us as well as the
9 other interveners and stakeholders to find a good solution
10 there. But it's been said in this panel many times before
11 but it's ultimately there are always going to be surprises
12 and challenges and risks at every project you go into.
13 And I think that others put it very eloquently when they
14 said finding a way to a solution is really important and I
15 think that California is challenged in that way. I think
16 there are so many interveners and so many stakeholders. I
17 don't know if you can get around being process oriented
18 but certainly that adds to the length and the risk
19 associated with any project.

20 So I know that time is short and I know you want
21 to get to question number three and so those are my
22 prepared remarks. I'm happy to answer any questions you
23 might have.

24 COMMISSIONER PETERMAN: Thank you very much. As
25 we move to question three, which I'll turn to Felicia for,

231

1 specifically this overarching Workshop is about financing
2 and so even though we're touching upon the experience of
3 the ARRA projects, generally, would also appreciate you
4 commenting on the next project that doesn't have ARRA
5 funding. What did ARRA funding facilitate in terms of your
6 project development? So, obviously, we've talked about
7 how it facilitated and encouraged a more expedited
8 timeline and that was viewed as valuable by project
9 developers. Did it allow for cheaper debt? Did it make
10 financing the rest or the remaining of the project faster?
11 How would you go about this project without ARRA money
12 going forward? Because we'll want to make sure that we
13 capture those aspects as well.

14 So, Felicia?

15 MS. MILLER: We're moving to question three?

16 COMMISSIONER PETERMAN: Yes, please.

17 MS. MILLER: Okay. So what I think I'm going to
18 do is I'm going to reverse panel and Keely, I'm going to
19 give you an opportunity to answer question three. Do you
20 have that question in front of you? Okay. He's done.

21 So, Chris, I'll let you answer the last
22 question.

23 MR. ELLISON: Okay. Well, let me begin,
24 Commissioner Peterman, by responding to your question.
25 And I am not a financing expert but I do have some sense,

1 at least with respect to this project. I think that this
2 project is a \$1.6 billion project and a \$1.2 billion cash
3 grant. I think the answer to your question – I think in
4 this case at this time that cash grant was very crucial to
5 getting this project built. And I think it definitely
6 made a difference. And I think part of the reason for
7 that though is it was coming at a time when credit was
8 very hard to get for these kinds of things because of
9 everything else that was going on in the world economy.

10 MR. ARMISTEAD: You mean \$1.2 in loan guarantee
11 or grant?

12 MR. ELLISON: Grant. So the answer might be
13 different at a different time. At other times in my
14 career when banks were lending more readily, having DOE
15 there to lend might not have made as big a difference as
16 it did at that point in time. But that was the purpose of
17 the recovery act. That was a big part of the purpose of
18 the recovery act. I would identify it as a success in
19 that respect.

20 And then very quickly with respect to what we
21 can do at the state, federal and local level. I've
22 already touched on a couple of things. I'm not going to
23 repeat them. Abengoa would certainly support an increase
24 in the RPS goal to 40 percent. That certainly would help.
25 They would support a DRECP process that identifies viable

1 zones near transmission that can feed into the federal
2 programmatic environmental impact statement and harmonize
3 those efforts to give clear signals as to where these
4 projects can be sited more readily.

5 At the federal level they would support an
6 extension of the federal investment tax credit as well as
7 the treasury grant or some form of treasury grant. And,
8 similarly, to the DRECP, they certainly would support the
9 BLM's PEIS process moving forward and concluding
10 successfully.

11 And then, lastly, at the local level, the sort
12 of additional fees we've seen imposed, for example, by
13 Riverside are a problem and we would like to see that
14 issue resolve.

15 COMMISSIONER PETERMAN: Thank you. That was a
16 nice -

17 MR. WACHS: Felicia, it's Keely. I'm sorry. I
18 was dropped earlier if you wanted me to respond.

19 COMMISSIONER PETERMAN: We thought you just were
20 done.

21 MR. WACHS: No, no, no. Not at all. Are you
22 kidding me? I'm never done.

23 [LAUGHTER]

24 COMMISSIONER PETERMAN: Okay. You're up next.

25 MR. WACHS: Okay. Thanks. Sorry. I apologize

1 for that but so echoing many of the things that Chris just
2 said, I would add a couple.

3 One is, and echo one sentiment, which is the DOE
4 loan guarantee program for Ivanpah. It was a \$2.2 billion
5 project and a \$1.6 billion in debt provided by the loan
6 guarantee was essential, it was critical to the project.

7 I think that if we hadn't had it what likely
8 would have happened is that we would have financed one
9 part of the project. It's a three plant project. We
10 probably would have financed one of each of those projects
11 separately and it would have taken much longer. Going
12 forward our plan is to commercially finance projects now
13 that the technology is built at scale and proven
14 commercially but ultimately that depends on where the debt
15 markets are and we would strongly encourage other ways of
16 helping to fund these projects. They are capital
17 intensive as well as other infrastructure projects in the
18 state.

19 We think one way of doing that, I know there's
20 been discussions around the California Alternative Energy
21 Transportation Financing Authority. Looking at how
22 private companies can issue tax exempt bonds, for example.
23 I know some folks with the legislature as well as the
24 Commission are looking at this vehicle in terms of helping
25 to finance projects.

1 At a federal level 1603 cash grant program has
2 been incredibly useful. ITC is extended through 2016 and
3 I know that there's a dialogue going on about its
4 extension and what type of, if any, extension there might
5 be. That's another program that I think is critical to
6 these types of projects.

7 So that's the additional comments that I wanted
8 to make.

9 COMMISSIONER PETERMAN: Thank you very much.

10 MR. ARMISTEAD: I'll keep mine very short. Just
11 to differentiate, I do think that the loans guarantees –
12 while the business that we're in, which is wind, is the
13 more mature technology it's really not for the mature
14 technologies. Even during the day when we had the
15 liquidity crisis it wasn't like we needed the loan
16 guarantee. It was really the liquidity around the tax
17 situation. They created the problem. So the extent that
18 the Commission sees value in new or innovative
19 technologies and maybe not even around generation. Or
20 batteries or whenever you're trying to do big capital
21 projects that require a long term to repay that's in
22 direct conflict with implementing new technology. The risk
23 in supporting things like that is that you can up with
24 fairly public issues when you bet wrong.

25 If you want to see new types of things I think

1 that's where the guarantee type situation, whether it's
2 from the federal or state, becomes valuable.

3 As it relates to – speaking as someone who does
4 a lot of wind, if the Commission wants to – one of the big
5 issues is whether or not there's going to be compensation
6 from the – under the PPA in the event that the federal
7 incentives are either there or not there. What this
8 creates right now, you know, with – when basically there
9 is not awareness that you have an on/off nature of the
10 federal side, it creates added pressure on that balancing
11 act of permitting. And, so, if the Commission, which we
12 would very much we'd see, is that the 33 percent is not
13 considered a "Thank goodness we got there. We're never
14 doing another megawatt." And I think it's going to take
15 some direction to see that that is not the case. That it
16 really is not just a floor and that there's a chance for
17 more uplift. The rest of it, I agree with the other
18 things so I won't say again.

19 COMMISSIONER PETERMAN: I just want to ask one
20 clarifying question. You raise the point about the
21 uncertainty around the PTC and how that's embedded now in
22 the PPA arrangement. So I thought you were going to go
23 maybe somewhere else with that. That the state government
24 could somehow provide some certainty around that –

25 MR. ARMISTEAD: Or at least –

1 COMMISSIONER PETERMAN: Backstop that risk but –

2 MR. ARMISTEAD: Provide guidance to the – I
3 don't know if it's the CEC. And that is also one of the
4 always tricky things. It's hard to know if it's the CEC,
5 the PUC, the – if you don't know the various areas but if
6 there's a target that's put out there, our contracts – I
7 mean, take for instance right now. The utilities are
8 satisfied for a number of years. If you're going to run
9 an RFP right now, you know, does that assume that there's
10 a tax credit or does it assume that there's not? Or is
11 there some way of effectively getting the best project
12 that's available without having to find the person that's
13 most willing to bet that there's going to be something
14 there when there may not be.

15 COMMISSIONER PETERMAN: I see. Thank you.

16 MR. HOYLE: Yeah. And just to add to that a
17 little bit. You're basically asking the developer, a wind
18 developer in this instance, to post say \$100 / kW,
19 whatever it is, which would be about \$10 million on a 100
20 megawatt project. And you're essentially taking PTC risk.
21 And so that's a risk that some people aren't willing to
22 take.

23 MR. ARMISTEAD: And you may not get the most
24 qualified or best project. You may end up just with the
25 person that's willing to gamble the most. And that's

1 maybe the right outcome, too.

2 CHAIRMAN WEISENMILLER: Yeah. Well, actually,
3 on some of the solar projects, my understanding of the
4 PPAs is that they had contingents on what happened if they
5 got cash grants or loan guarantees. What happens if they
6 didn't in the pricing structures?

7 So you could, again, I don't know if the
8 utilities would negotiate with you on it but at least
9 there's some precedent for that type of contingency.

10 MR. ARMISTEAD: There used to be that. I would
11 say that they've specifically moved away from that. At
12 least they have in the most recent dialogues. I don't
13 know if that changed in the recent solar awards but I know
14 that the feedback came is that this is not a risk that we
15 have to take so therefore the developer should take. And
16 I do think that, in this instance, biased some of the
17 awards toward solar because the incentives existed for a
18 longer period of time for solar than they did for wind.

19 MR. HOYLE: And I have direct experience with
20 that recently and from a legacy perspective as well.

21 Obviously support California supporting the
22 federal Production Tax Credit extension is a biggie. We
23 have, as a backlog, nearly 400 megawatts, another \$800
24 million of investment on top of the \$2.85 that we've
25 already – the \$2.85 billion that we've already invested.

1 So that's obviously a critical issue for us and any
2 support would help.

3 I think looking a little bit longer term and
4 talking about some other things, transmission planning I
5 think is pretty key. Long-term transmission planning
6 process I would definite it as sort of broke right now. I
7 don't think there's a lot of incentives right now for
8 transmission owners to do another transmission project and
9 if they wanted to today that's definitely a long road to
10 go.

11 In addition to that, transmission queue process.
12 I'm sure there's going to be another push here to reform
13 the transmission queue process because some of the people
14 in the initial clusters have a lot of money and they're
15 either going to monetize that or not. And when it comes
16 due for them to put in more money I'm sure they're going
17 to what to reform it.

18 From our perspective some of these later
19 clusters, it just doesn't make a whole lot of sense to
20 participate in that process. Just because how are you
21 going to get through it, especially with all of these
22 projects in front of you that, quite frankly, we don't
23 deem to be viable.

24 And so that leads into project viability, I know
25 it was talked about a little bit earlier. I realize that

1 at least the IOUs have a different view of project
2 viability. But what we see in the market is that there
3 are some speculative projects that keep clogging up
4 resources, not only from the transmission side but from
5 the agency side and just generally in the permitting
6 process. Don't have an answer but it's definitely
7 speculative.

8 So the last thing that I would just like to talk
9 about. Obviously, seeing an increase in the RPS would be
10 something that we'd be supportive of. Other things, you
11 know, to make technology a little bit more – the
12 incentives, a little bit more agnostic. I mentioned that
13 we'll be paying \$31 million a year in property taxes. We
14 don't have a property tax exemption and so if you're
15 without PTC's, potentially, that would be a nice thing to
16 be able to put on par with other technologies in addition
17 sales tax. So far we've paid \$178 million in sales tax
18 and it is pretty typical at least in a lot of the other
19 states that we do national development that there is some
20 sort of sales tax exemption that is typically provided.

21 And the last thing, John Marciano talked about
22 it a little bit from Chardbourne on the previous panel,
23 another potential way, just brainstorming, is that other
24 states do have tradable or refundable call them state
25 Production Tax Credits or similar so you don't need to go

1 through what you need to go through at the federal process
2 to monetize them. You can actually sell them for cents on
3 the dollar to those that have state tax nexus or have a
4 state tax appetite.

5 COMMISSIONER PETERMAN: Great. Thank you.
6 Scott?

7 MR. BUSA: Again, and I'll apologize, my
8 expertise is going to be that certainty around providing
9 some certainty in the permitting process. So I'll just
10 give you a couple of quick things we can develop more.

11 COMMISSIONER PETERMAN: Sure. Thank you.

12 MR. GALATI: For one thing is early decisions in
13 a permitting process. To develop a scope upon which
14 projects are reviewed here at the Commission and, again,
15 I'm speaking here at the Commission because this is
16 something that works very well with the counties.

17 One of the things that I know from doing a
18 couple of projects in Fresno County is they really build
19 upon the last project. So if you're a developer and you
20 see a project get a conditional use permit through an EIR
21 and you propose something similar to those conditions and
22 similar to that mitigation they start from there. And
23 they just say what's different about this project and
24 that's what they evaluate. The law allows it, encourages
25 it but that's not what happens at the Commission. And so

1 an early decision of scope applications who come in and
2 hit 90 percent of the mitigation marks up front that
3 process should be far different than applicants who come
4 in and don't commit to anything. So I think that's very
5 helpful.

6 The other thing that I think would be very
7 helpful in, again, continuing with the desert resource
8 energy conservation plan some of us think that would have
9 been great if we had started that 5 or 10 years ago, I
10 know all of us would in the room, so would know when
11 you're siting a project where to site the project. So
12 we're hoping that that will provide some level of
13 certainty that we hope you can pick a better site in the
14 future.

15 And then, lastly, I would say that I've gone
16 back and forth on this but I've weighed the relative
17 merits to the state from my perspective. There still is a
18 prejudice against somebody filing an application locally,
19 federally or at the Commission if they do not have a power
20 purchase agreement. Somehow if you have a power purchase
21 agreement you're real and somehow if you don't you don't.
22 But I think that a lot of those power purchase agreements,
23 and I'd agree with my colleague to the right here, that
24 some of those power purchase agreements that people
25 entered into before they filed a permit application,

1 before they understand the transmission costs have
2 artificially driven the price so low that at the end of
3 the day you're going to process a project with a PPA that
4 was, you know, entered into a long time ago with no idea.
5 Everybody's - and so what you have is you have some people
6 gambling that the same thing that happened before - a
7 2007, 2008, 2009 vintage PPA is a high price and a 2014
8 PPA will be a low price. But I think that that's
9 artificially low now, especially for PV. I also agree
10 that without some outside funding and cheap financing I
11 don't know how you can build, and a lot of my clients do
12 not know, how they can build a project a \$0.07.

13 So I think that even though the costs are down
14 it's just there's no margin for equity and you have to
15 find extremely cheap debt. So I think that somebody who
16 filed an application without a PPA actually should be
17 rewarded and get that project processed. Because it's not
18 cheap to do that. That's all equity at-risk money but
19 then when they can bid in they have an idea what the
20 project costs. They have an idea what their transmission
21 costs are and then you get something that's real. So I
22 think that's something the Commission can deal with
23 directly.

24 COMMISSIONER PETERMAN: Thank you. Thank you
25 for offering up some additional suggestions from the

1 previous panelists. Scott B. you want to bring us home?

2 MR. BUSA: Sure. See how long winded I can be.

3 To first answer, Commissioner, your questions on tax
4 incentives and loan guarantees.

5 I can tell you three of them. We'll talk about
6 the loan guarantee, the 1603 grant and the property tax
7 exemption. All three of those are built into our PPA
8 pricing when we went forward with our previous projects.
9 And so the beneficiary of this is the ratepayers of the
10 California utilities. So they do help and they do make a
11 difference and it's not money in our pockets.

12 And another thing two, I just want to reiterate
13 or clarify that all of these programs really don't cost
14 the public any money onceover. The DOE loan guarantee
15 doesn't cost the public any money unless the project were
16 to fail, which is a different thing. We're talking about
17 successful projects hopefully.

18 The 1603, the cash grant in lieu of the tax
19 credit for solar, the tax credits were authorized anyway
20 and the companies were going to get those so the
21 conversion to cash really didn't make any difference in
22 that and so we're talking about a lot of money flowing
23 here but it's not coming out of the ratepayers pocket.
24 Actually, it's helping the ratepayer with a lower PPA
25 price in the end.

1 And, just to mention too, that's a very
2 important incentive to our company and to companies like
3 us that aren't necessarily aren't able to take full
4 advantage of a tax credit but, you know, the cash is a
5 different story. So even though it's the same dollar
6 break in the end it is important and has helped us bring
7 projects forward.

8 And the property tax exemption, I mean, honestly
9 they are – that's money that's not going into the local or
10 state coffers. However, that is built into the PPA
11 pricing as I've said before too. It's an annual operating
12 expense that's very helpful to count on not having that
13 and we were able to price with more certainty going
14 forward. So all important, you know, whether we make it
15 without one or the other, it's possible. But I think
16 they're all important programs.

17 A couple of things on what actions state,
18 federal, local need to facilitate development of large-
19 scale renewables. I'll mention two. One, and they both
20 directly deal with the Commission, is doing or could be
21 doing. We developed several projects on land with the
22 BLM, whether they were an interconnect or the actual
23 physical, land, the property. Or the project was going to
24 be placed on, in the beginning, at least in 2009 and 2010,
25 there was hope that the Commission would be able to work

1 closely with the Bureau of Land Management. A lot of
2 planning went on together. Unfortunately, kind of in the
3 middle of our process with Genesis there was what they
4 call the divorce where there was this desire for the
5 Commission and the BLM to kind of do their own thing and
6 go separate ways.

7 Of course that doubles the amount of work the
8 applicant has. It doubles the amount of permit
9 conditions, even though they're almost identical. It
10 doubles a lot of things that I think if there was a way to
11 not have both a CEQA and a NEPA in full process that would
12 be very beneficial and helpful. So anyway that the
13 Commission can look to working with their federal partners
14 in reducing the amount of hoops we have to go through.
15 And this is not only the permitting stage but through the
16 many years of operation too that would be helpful.

17 Right now we've got BLM staff and Commission
18 staff watching what's happening with the Genesis Project
19 as well as the DOE guys. We've got a lot of eyes all
20 trying to accomplish the same thing and a lot of costs
21 that are duplicative because of all that.

22 On the flip side of that, I'll go to the local
23 level. Currently we're processing a CEQA application on
24 our McCoy Project, which is an up to 750 megawatt
25 photovoltaic project down in Riverside County. They too,

1 and this is on BLM land for the most part. There is some
2 private land involved. They too started the process
3 together. We were about nine months into the process of
4 doing a joint EIR/EIS and the worst came about there too.

5 A good intentions to start with but the county,
6 unlike Kern County, I guess this is not quite as
7 cooperative or they actually pulled our conditional use
8 application after – within weeks of issuing a draft EIR.
9 And a lot of this revolves around some things that were
10 mentioned here that has to do with a tax issues that the
11 county is trying to resolve and place on local projects in
12 the county. It has not worked very well, in my opinion.
13 Several PV and solar thermal projects have been able to
14 work with other counties on what we call the sun tax that
15 Riverside County has imposed but Riverside County has kind
16 of gone a step further with that. It's really created a
17 problem with both the permitting aspect and the moving
18 forward with that project.

19 I bring that home by saying I would encourage
20 and hopefully would love to see the Energy Commission have
21 jurisdiction – or have the ability to have jurisdiction
22 over photovoltaic projects in addition to solar thermal or
23 thermal projects in general. I know that a lot of
24 developers don't necessarily agree with me on this point.
25 You know, the Energy Commission has a reputation of being

1 a pretty tough place to make things happen at but we have
2 experience with both the Commission and the County
3 process. And for it to be voluntary, like with four
4 places that we aren't getting the cooperation from the
5 county, I'd love to be able to come to the Commission with
6 my project and have you guys be my CEQA lead on that. So
7 that's something that I think the state could work on that
8 would broaden a developer's options but it might include
9 wind too. And I think voluntary is a key part of that and
10 I hopefully will be able to see the Commission more often
11 in the future with some photovoltaic projects.

12 COMMISSIONER PETERMAN: Scott, thank you for
13 that. Before I turn to the Chair for some final comments,
14 in the interest of time and the growing crowd for what I
15 believe is our next speaker, I'm going to thank all the
16 panelists for all those excellent comments. We welcome
17 your written comments as well. A lot to think about.
18 This has been very valuable as well for me to have this
19 discussion outside of the siting cases where we normally
20 see each other. Thank you also to Felicia Miller for her
21 moderation as well as her introduction to this panel was
22 very helpful, and for coordinating everyone. Chair?

23 CHAIRMAN WEISENMILLER: Again, I'd like to thank
24 everyone. I would note for Scott's benefit we did have a
25 lessons learned workshop on that actually, a panel on the

1 various efforts of the locals, the state and the feds all
2 to do joint documents. And people talked about where
3 thing worked or didn't work or at least the challenges
4 there. So that's certainly – it was a very interesting
5 exercise. Again, thanks everyone for your participation.
6 Looking forward to your written comments. And obviously
7 we're looking forward to the next panel. Thank you.

8 COMMISSIONER PETERMAN: Thank you. And as our
9 panelists leave I'll just, in order to connect people,
10 which is what Commissioners try to do – our next
11 presentation is of some work being done by the Executive
12 Fellows. The Fellows are post-graduates that are
13 currently working within state government and, hopefully,
14 they will choose to continue their careers with state
15 government but if not talk to the panelists who were just
16 leaving who are giants in private industry who can promise
17 you perhaps more money but maybe not as rewarding in
18 experience.

19 [LAUGHTER]

20 COMMISSIONER PETERMAN: And if you want to hear
21 where the next generation is going with their thinking
22 listen to this presentation because they will already have
23 familiarity with government at this early stage of their
24 career, which is quite important as you noted. So
25 Suzanne?

1 MS. KOROSEC: All right. Our final presentation
2 is the result of a project that was performed by the
3 Executive Fellows for the Energy Commission and the
4 Governor's Office of Planning and Research 18 Fellows are
5 selected and placed in different California state agencies
6 for a 10 month period where they learn about state
7 government from their individual experiences and mentors
8 as well as through their shared professional and academic
9 experiences with their colleagues.

10 Six of these fellows were tasked with
11 researching 14 diverse renewable generation facilities and
12 the barriers associated with their development. So we
13 wanted to acknowledge all of the fellows that worked on
14 the project and their mentors.

15 We have: Ashley Fabrizio, Department of Finance,
16 Mentor: Ana Matosantos, Director; Anita Ladher, Office of
17 Edmund G. Brown, Jr., Press Office, Mentor -

18 COMMISSIONER PETERMAN: Can I just interject?
19 Can you just raise your hand while she's calling out your
20 name so we at least know who you are? Do you want to just
21 start at the beginning? We have Ashley?

22 MS. KOROSEC: We have Ashley. Anita Ladher.
23 Okay. Office of Governor Brown, Press Office. Your
24 mentor was Evan Westrup, Deputy Press Secretary. Amy
25 Nabel, Office of the State Treasurer with the mentor of

1 Tricia Wynne, Deputy Treasurer. Bartek Sudol, California
2 Volunteers, Office of the Governor. Mentor Karen Baker,
3 Secretary. Andre Lee, CalPERS Investment Compliance and
4 Operational Risk Division. Mentor is Carol Baldwin
5 Mooday, Senior Portfolio Manager. And Jamie Ruddy from
6 the California Health and Human Services Agency. Mentor
7 Diana Dooley, Secretary. So Ashley?

8 MS. FABRIZIO: All right. So I'm Ashley
9 Fabrizio from Department of Finance, Executive Fellow and
10 I would like to first start by thanking Sandy Goldberg at
11 the Governor's Office of Planning Research and Kevin
12 Barker at the Energy Commission and then, I didn't see
13 them, but Sekita Grant and Dr. James Reed, also with the
14 Energy Commission for their advice and their help
15 throughout this whole project. They were absolutely
16 crucial with their contacts and their vast body of collect
17 knowledge. So thank you to you guys.

18 And, so, the purpose of this project was to
19 learn more about small scale distributed generation in
20 California. The Governor's Clean Energy Jobs Plan calls
21 for 12,000 megawatts of distributed generation by 2020.
22 And Senate Bill 2X set a goal of 33 percent renewables by
23 2020.

24 The state also has an obligation to help
25 stimulate economic development and job creation,

1 especially in those areas hardest hit by the recession.
2 We are also more familiar with large scale power plants,
3 which have a long history of being established in the
4 state. And, above all, we wanted to learn if there were
5 common hurdles distributed generation projects faced as
6 well as identify any issues not on our radar that need
7 more exploration.

8 We interviewed project developers, local
9 officials, utility's staff as well as reviewed public
10 documents and news reports. And our framework was based
11 on those key milestones a project must meet to come to
12 fruition from procurement to siting and permitting, the
13 interconnection process and achieving an agreement and
14 then financing the project.

15 So the term distributed generation can mean many
16 different things. We were looking for a diverse group of
17 projects and technologies that would all fit under this
18 umbrella. So some distinguishing features were: renewable
19 portfolio standard eligible projects of 20 megawatts or
20 less, wholesale as well as self generation projects,
21 different technologies like solar PV, wind, solid fuel,
22 biomass, biogas projects and fuel cells. And then within
23 solar PV itself everything from fixed ground mounted
24 single access, dual access and rooftop installations. And
25 then different procurement mechanisms whether it's on

1 public or private land and then finally scale. So it's a
2 big difference if it's a few hundred kilowatts versus 20
3 megawatts.

4 So for this – I'll now go through our 14 case
5 studies and touch on the highlights of each study, one or
6 two points per slide. If you have specific questions,
7 please feel free to ask during the question section at the
8 end of the presentation.

9 So first up is Recurrent Energy's Kemmerer PV
10 facility. It's a 1500 megawatt ground mount fixed single
11 axis installation on 115 acres in South Sacramento County.
12 And it's one of Recurrent Energy's four projects under
13 SMUD's feed-in tariff program. And the feed-in tariff
14 program was one of the state's biggest DG procurement
15 efforts. It was capped at 100 megawatts and fully
16 subscribed after a few weeks, after the ARRA announcement.
17 And Recurrent Energy, in fact, locked up 70 percent of the
18 hundred megawatt capacity with its 70 megawatts total over
19 all four sites in South Sacramento County.

20 Then, in this picture here, U.S. Secretary of
21 the Interior Ken Salazar and Governor Brown signed a
22 memorandum of understanding in January 2012 at the ribbon
23 cutting of the nearby RE Bruceville, a very similar
24 project to this one. And this was also a solar PV
25 project.

1 And the purpose of the MOU is to direct
2 California agencies and the Department of Interior
3 agencies to take the necessary actions to further the
4 implementation of AB 32 and Senate Bill 2X, and also the
5 Secretary of the Interior's Order 3285A1 in a cooperative
6 and timely manner.

7 So next step is GreenVolts. This is a utility
8 scale solar project in Byron, California. It's a three
9 megawatt dual access tracking and concentrating PV system.
10 GreenVolts was one of the first small scale developers to
11 respond to an RPS solicitation and successfully negotiate
12 a contract. Most successful projects are large scale.
13 This project appears to be a flagship project for a new
14 wave of community scale DG projects.

15 Then the McHenry Solar Farm in Modesto is
16 something of an outlier in that it is a 25 megawatt
17 project and it's not – and so it's technically not under
18 the Governor's 20 megawatt limit for a project to be
19 considered distributed generation project. And we
20 included this project in an attempt to shed some light on
21 whether a 25 megawatt project faces the same experience
22 and issues as a 15 or 20 megawatt project. And from our
23 limited research this project appears to have the same
24 experience as somewhat similar projects.

25 And the Aerojet PV installation is a six

1 megawatt project on 40 acres of private land on the
2 Aerojet Property in Rancho Cordova. The facility is a
3 U.S. EPA superfund site, which is a highly polluted
4 location in which the cleanup is monitored by the EPA. So
5 this is a company really that's trying to clean up its
6 groundwater and wanted to use renewables to help power
7 that process. So Aerojet has solar power purchase
8 agreement with Solar Power, Inc., which is an agreement
9 between a developer and a customer as opposed to between a
10 developer and a utility.

11 So this third-party aspect makes it unique among
12 the projects that we studied. And SMUD is also financing
13 the project. \$13 million of the project's \$20 million
14 cost over 10 years.

15 Then the Southern California Edison ProLogis
16 Rooftop PV project is an 8.6 megawatt project over 27.5
17 acres of rooftop owned by ProLogis. It's on an industrial
18 distribution center in Rialto, California and it's the
19 largest rooftop application in California and it's online.
20 It came online in September 2011. The project is part of
21 Southern California Edison's solar photovoltaic program,
22 which includes projects up to 10 megawatts.

23 The Sonoma Mountain Villages 2.3 megawatt PV
24 facility is on 4 acres of rooftop in Sonoma. One
25 highlight from the study is that the developer financed

1 the 1.6 megawatt upgrade with a \$1.6 million loan from the
2 Sonoma County Property Assessed Clean Energy Program or
3 PACE program, which is a method for financing energy
4 efficiency improvements for homes.

5 This project also received financing from the
6 federal ARRA grant program in lieu of a tax credit, a
7 grant in lieu of a tax credit, which reimbursed 33 percent
8 of the project's total cost.

9 The China Lake Naval Station PV Project is 14
10 megawatts on 118 acres of federal land. This project was
11 limited in its size by the minimum load of the facility
12 and because it was too big for net metering. As a public
13 entity the Navy could not take advantage of federal tax
14 credits so it worked with a third-party developer. This
15 was SunPower Corporation. And this corporation was able
16 to qualify for a tax credit and pass the savings on to the
17 Navy through its energy pricing.

18 The Buena Vista Biomass Power Facility is an 18
19 megawatt woody biomass fired facility on 50 acres in Ione,
20 California. This is a repower of an old coal facility
21 that closed in 1999, which resulted in many jobs lost in
22 this small community in inland California. In repowering
23 this facility a significant effort was made to hire local
24 labor for construction and commercial service jobs. So
25 this is an example of an advantage DG has for booting

1 local communities. The facility also received a Wildland
2 Fire Management Grant from the U.S. Department of
3 Agriculture for \$2.5 million. This was also an ARRA
4 grant.

5 The SPI Susanville Cogeneration Facility was a
6 13 megawatt biomass solid fuel plant. It was operational
7 from 1985-2004. There have been a number of efforts to
8 bring the facility back online but it has thus far not
9 been operational. There are a number of hurdles,
10 including availability of fuel to burn and also financing
11 issues. But this is a facility to watch going forward.
12 It was recently acquired in November 2011, also intended
13 to be brought back online soon.

14 The Teichert Aggregates Wind Turbine is a 1.5
15 megawatt project on .25 acres at the Teichert Aggregates'
16 facility in Vernalis. This installation made use of the
17 Public Utility Commission's self-generation incentive
18 program which provided approximately half of the project's
19 \$4.5 million cost.

20 The Southwest Windpower Skystream 3.7 model is a
21 personal wind generator that is used on the residential
22 level. We did not look at any particular installation but
23 it looked at the California picture as a whole. Most of
24 these units are installed on residences in rural areas
25 that have wind potential. There have been 87 systems

1 installed in California since 2007 and these installations
2 are eligible for a U.S. federal tax credit that covers 30
3 percent of the installed cost. But this tax credit is set
4 to expire at the end of 2012.

5 So the Tank 7 In-conduit Hydroelectric Project
6 was proposed for 400 kilowatt installation for El Dorado
7 Irrigation District. And this project is currently not
8 going forward. The power purchase agreement expired and
9 there were issues with financing the project.

10 The Sonoma County Farms to Field Project is a
11 1.4 megawatt chicken manure fuel cell on 5.4 acres of
12 Sonoma County – it's for the Sonoma County Water Agency.
13 And the fuel cell makes use of biomethane gas from dairy
14 and food processor waste that is processed in bio-
15 digsters. And this project made use of a \$3.4 million
16 grant from the Energy Commission's Alternative and
17 Renewable Fuel and Vehicle Transportation Fund.

18 And, finally, there's the Recycling Plant One
19 Fuel Cell that's a 2.8 megawatt fuel cell powered
20 primarily by renewable biogas. It's placed in a water
21 treatment plant operated by the Inland Utility Empire's
22 utility agency in Ontario, California and it's been online
23 since September 2011. This project received rebates
24 through the Southern California Edison Self-Generation
25 Incentive Program.

1 So that is the summary of our 14 case studies.
2 And I will conclude with some very limited
3 recommendations. Any further analysis in tracking the
4 state of DG in California might look for the data gaps and
5 the types of projects we studied here as well as key
6 issues. And further tracking might seek to identify
7 reoccurring challenges faced by developers in bringing
8 these projects online. And further analysis may also
9 identify those issues that can be readily addressed by
10 regulatory agencies such as streamlining the approval
11 process, which we heard a little bit from from the last
12 panel.

13 So I would like to thank you all for your time,
14 my teammates and I. I can now take any questions that you
15 have and we welcome any recommendations for further
16 research and analysis.

17 COMMISSIONER PETERMAN: Thank you. That was a
18 whirlwind tour. I couldn't really keep up with turning my
19 page but you handled it very well in presenting that
20 information.

21 I will say that we're not going to need the 15
22 minutes for our closing remarks so I'd like to take a
23 little bit more time to ask some questions.

24 How about you just come to the dais and have
25 your teammates as well so that you can answer specific

1 questions that we may have for you.

2 Now as you're coming up I will say that this
3 presentation's very interesting and really the summary you
4 provided so far just in the PowerPoint highlights a lot of
5 the issues that we've had to consider today as well as in
6 a number of our workshops that you've touched upon.

7 Perhaps the Chair and I will use the opportunity
8 as well to come highlight some of the common themes that
9 we're seeing in general with renewables that you've
10 highlighted in each of your case studies.

11 First, we had a clarifying question. Who worked
12 on the GreenVolts project?

13 MS. NABEL: That was me.

14 COMMISSIONER PETERMAN: Can you tell us why the
15 projects on hold?

16 MS. NABEL: So they discovered kind of partway
17 through construction –

18 COMMISSIONER PETERMAN: Oh. And you need to
19 speak into your mic.

20 MS. NABEL: They discovered partway through
21 construction that there had been a decommissioned Shell
22 Oil pipeline running through the project. And I think
23 they had known about the pipeline but there was an oily
24 substance that was supposed to be completely
25 decommissioned. It was supposed to be completely clear.

1 And so they discovered this oily material and they're
2 currently working with Shell on kind of further steps as
3 well as the utility. But they haven't been able to clean
4 it up fast enough to be able to get up and running.

5 COMMISSIONER PETERMAN: Thank you. And a point
6 that was touched on by an earlier panel – oh, please.

7 CHAIRMAN WEISENMILLER: Actually, I was just
8 going to ask each of you who speak to identify yourselves
9 for the Court Reporter.

10 MS. NABEL: I'm Amy Nabel. I'm an Executive
11 Fellow at the State Treasurer's Office.

12 MR. LEE: (Indiscernible)

13 COMMISSIONER PETERMAN: Oh. You only have to do
14 it when you speak.

15 MR. LEE: Oh. Okay. I'm sorry.

16 COMMISSIONER PETERMAN: The first time around.
17 But it's useful. So one of the questions that was raised
18 by the previous panel was the issue about timing and
19 having these timing deadlines and having to considering
20 how long the PPA process takes and the permitting process,
21 how many of these steps are done in parallel. Just
22 wondering in your conversations with the developers if
23 they – if you got a sense that they pursued each of these
24 tasks in a certain order. Did they comment on the timing
25 uncertainty around some of these? I think there's one

1 project that might have been delayed because the PPA was
2 cancelled.

3 MS. FABRIZIO: (Indiscernible)

4 COMMISSIONER PETERMAN: Is your mic on, Ashley?
5 So to turn your mic on you have to press the push button
6 in the center for future speakers.

7 MS. FABRIZIO: Ashley Fabrizio, Department of
8 Finance. The project that was – the PPA expired; it was
9 the Tank in-conduit project. It didn't get the financing
10 in time so it was passed the 12-month limit and I think
11 the 6-month extension as well on the PPA. So the project,
12 as far as we know, is not going forward.

13 CHAIRMAN WEISENMILLER: Did you get a sense of
14 what the real issue was on financing? So just a bad
15 market or bad project?

16 MS. FABRIZIO: Who did? Was that yours? Was
17 that your project? The in-conduit project? Do you –

18 COMMISSIONER PETERMAN: Now's the time to say
19 your name.

20 MR. LEE: So my name is Andre Lee and I'm at
21 CalPERS Investments. Can you repeat your question, I'm
22 sorry.

23 CHAIRMAN WEISENMILLER: Yeah. Well basically the
24 project didn't happen because it couldn't get financing.
25 So the question becomes, in my mind, what were the issues

1 in financing? If you know, and if –

2 MR. LEE: Yeah. To the extent that we were able
3 to figure it out. What happened was that the district –
4 the irrigation district just didn't have the funding
5 necessary to complete it. I believe that they had enough
6 money to get about halfway. So right now I think where
7 they're at is they're looking at private funding options
8 and I believe that it would have the added benefit of also
9 being eligible for certain incentives from the federal
10 government that the irrigation district would qualify for
11 necessarily.

12 CHAIRMAN WEISENMILLER: Sure.

13 COMMISSIONER PETERMAN: Any other comments from
14 the panelists about timing?

15 MS. NABEL: Yeah. This is Amy Nabel, again.
16 For the China Lake case study the energy manager for the
17 China Lake Base mentioned that a big issue in terms of
18 timing, in terms of kind of getting the PPA up, was that
19 because they could not have the agreement with the – the
20 interconnection agreement with the utilities ahead of time
21 because they basically needed to have all the information
22 about, you know, construction, the PPA. They needed to
23 have that all before going to the utilities that that made
24 the whole process more difficult because then they
25 couldn't go to their private developers and say, "Oh. We

1 have the interconnection agreement." So there was a bit
2 of a chicken and egg problem there.

3 CHAIRMAN WEISENMILLER: Yeah. We've often heard
4 from the developers that interconnection is a key problem.
5 I don't know in terms of each of you as you worked on the
6 project what was the role of interconnection on your
7 specific project?

8 COMMISSIONER PETERMAN: And did the developer
9 speak to interconnection as a challenge when you spoke to
10 them?

11 MS. NABEL: Yes. I didn't - I don't know if
12 that was an issue with GreenVolts, which was my first case
13 study. Definitely in the China Lake case study it became
14 an issue where there wasn't necessarily a standardized
15 process. That was their - the view, from the China Lake
16 perspective, where they really kind of wanted a clear
17 process of here are the documents you need to give us and
18 this is how the decision will be made. There was kind of
19 a lot of back and forth where sometimes what they
20 delivered was good enough and then they would resubmit
21 those same documents and then they would not be enough
22 information. So there was a lot of confusion with the
23 interconnection process. And that was a big issue of
24 concern.

25 MS. FABRIZIO: This is Ashley Fabrizio with the

1 Department of Finance. The Buena Vista Biomass Power
2 Facility, that one, they have an interconnection agreement
3 with PG&E but they have a PPA with SMUD and so one
4 interesting thing is SMUD uses the PG&E interconnection
5 lines because the site and Ione is south of its
6 distribution area. So that's one cooperation, I guess,
7 between these utilities.

8 COMMISSIONER PETERMAN: I actually have some
9 follow up questions about the Buena Vista Biomass
10 facility, unless anyone else wanted to comment on the
11 first question.

12 MS. FABRIZIO: No, we're okay.

13 COMMISSIONER PETERMAN: Okay. Thank you. So
14 this is your case study, Ashley?

15 MS. FABRIZIO: No. Whose was that? Oh. It was
16 Jamie's. She couldn't be with us today.

17 COMMISSIONER PETERMAN: Well, I'll just offer a
18 comment on this one. This sparked the attention of both
19 myself and the Chair because in the course of these
20 Workshops we've been talking about what opportunities
21 there are for distributed biomass. Oftentimes the focus
22 has been on solar PV but we've heard from CalFIRE and the
23 U.S. Forestry Service and particularly communities in
24 Northern California about the not only the energy
25 opportunities from biomass but also the potential for

1 reduction fire hazard and that fire hazard can lead to
2 problems with transmission lines and ultimately more
3 issues related to climate change and greenhouse gases.

4 And we had our first workshop looking at the
5 benefit of renewables and particularly how do you monetize
6 some of these none energy benefits. Something like fire
7 hazard reduction isn't directly tied to energy but it is
8 an important benefit for the state.

9 So I was interested to see this note here that
10 that project received Wildlife Fire Management Grant of
11 \$2.5 million because that's quite a significant amount and
12 we're trying to figure out what are these other avenues
13 for revenue for these projects. Particularly, I think,
14 this one highlighted the job opportunities in the area and
15 we've heard, especially from those communities, how hard
16 they've been hit by the reduction in timber sales and such
17 in the area. And how these energy opportunities are
18 pretty valuable. So thanks for including that one.

19 CHAIRMAN WEISENMILLER: You dealt with a variety
20 of projects. A variety of technologies. And I guess part
21 of what I was trying to get was your takeaway, which was
22 the most interesting or exciting from each of your
23 perspectives'?

24 COMMISSIONER PETERMAN: And what if anything
25 surprise you?

1 CHAIRMAN WEISENMILLER: Yeah.

2 MS. FABRIZIO: I'll start. Ashley for
3 Department of Finance. One of mine was the Aerojet
4 Installation and so that was very interesting to me
5 because it was a very close collaboration with the U.S.
6 EPA and this private company, Aerojet and with Solar Power
7 Inc. as sort of this third party going in between. I
8 found it interesting that just the fact that they worked
9 so closely together. That Aerojet was willing to try to
10 power its ground remediation, ground water remediations,
11 system with renewables. I think that hopefully in the
12 future other private companies will try to offset some of
13 their energy use with this. And it seems - I'm not sure
14 if there was an incentive from the U.S. EPA to find a
15 solution like this to power some of its required
16 remediation programs on a superfund site like this one was
17 but it was certainly a sort of win-win-win situation for
18 the company and the federal government and the environment
19 on that one.

20 COMMISSIONER PETERMAN: I'll just add before we
21 have the next speaker that - when we had our workshop on
22 location of renewables and preferred locations, we had
23 some representation from EPA and there was a nice synergy
24 amongst everyone to talk about how do we maximize
25 opportunities on degraded lands, superfund lands and so

1 this is an example of one of those projects.

2 MR. SUDOL: This is Bartek Sudol. I'm with
3 California Volunteers. And one of the cases that I worked
4 on was a fuel cell in Ontario, Canada. And that was an
5 interesting case because of barriers to entry for
6 purchasing for getting such a facility started on existing
7 land is much lower than anyone else.

8 Obviously the power with such a cell is much
9 lower than other installations but seems to be a lot of
10 people do the same thing. It might actually add up to a
11 significant number. So was very excited to see that as a
12 technology, that mature and ready to be deployed and it's
13 a commercial product so hopefully in the future more
14 companies will get that out on the market.

15 COMMISSIONER PETERMAN: Thank you -

16 MS. LADHER: Anita Ladher with the Governor's
17 Press Office and I worked on the Sonoma County Farms to
18 Field Project and what I found most interesting about that
19 was actually how much it had been delayed because of
20 difficulty in getting permits from the federal government
21 in particular the Army Corps of Engineers. So that was
22 what the Project Manager in Sonoma County kind of wanted
23 to talk to me about every time I had interactions with
24 him. It was a small project but I found that to be the
25 most interesting part of it, the delays. Because it was

1 supposed to start construction over a year ago but as of
2 now it still hasn't.

3 MR. LEE: Hi. So this is Andre again from
4 CalPERS Investments. I found the Solarphotaic Program the
5 SGVP program that Southern California Edison has been
6 working on. So the really interesting. The one that we
7 did the case study on was their Rialto Installation.
8 Basically the entire program has to do with putting
9 installations on the rooftops of big, industrial
10 distribution centers in the Inland Empire. And the reason
11 why I thought it was interesting, you know, a lot of kind
12 of what has been holding solar back is, you know, the land
13 issue. A lot of times the land that these installations
14 are good for, you know, it's agricultural or it has other
15 purposes so having rooftop installations I feel really
16 have the benefit of not taking up space that could be used
17 for other purposes. What we found is that although the
18 Rialto site was completed successfully one thing that came
19 up again and again was the issue of funding. Is that the
20 costs were higher than they estimated. I do not believe
21 that they were able to complete the SGVP as a whole as
22 they had intended at the beginning and so they modified
23 their plans substantially now. Yeah. I found that case
24 study probably the most interesting.

25 COMMISSIONER PETERMAN: Andre, your comments are

270

1 well taken. We've heard in a couple of our workshops some
2 concerns from those who are in the Central Valley about
3 the conversion of perhaps prime agricultural land for
4 solar PV development and just the competing needs for the
5 land. That's a very live and relevant issue for us.

6 MS. NABEL: I really enjoyed seeing the contract
7 actually between my - I had two solar projects. Although
8 the GreenVolts project isn't up and running they have
9 several other projects and they have kind of a similar
10 model where they try to put their sites very near to
11 transmission lines that are already in place. Whereas if
12 you compare China Lake, which is in prime solar land.
13 They're on the border of the Mojave but, I mean, they
14 could have built a much bigger site but there's this
15 problem of the lack of transmission. It was really
16 interesting to see the kind of - that you would have two
17 very different projects up and running simultaneously
18 within the state. You've kind of got grant, siting and
19 transmission problems. The sun isn't quite as bright but
20 it's right next to the transmission. And to just see them
21 both running simultaneously was really interesting.

22 COMMISSIONER PETERMAN: I'll note that the
23 Energy Commission was one of the early funders of
24 GreenVolts and they do have a unique model. They with
25 their turnkey model. And it just shows you the different

1 business propositions there are in solar.

2 Any further questions?

3 MS. NABEL: That PIER grant in our case study –

4 COMMISSIONER PETERMAN: I did like how many of
5 them did note that we funded it. It was nice to look
6 through our history and see the impact the Commission is
7 having.

8 CHAIRMAN WEISENMILLER: Yeah. I think one of
9 the things we hear often is that location really matters
10 for projects. And, as you said, there are some that have
11 a very good site, that have very little permitting issues
12 and some that turn out to just have horrible sites and
13 take forever to permit. I was wondering, you know, in
14 terms of location and obviously it's sort of the cliché in
15 real estate, it seems to be the real cliché in power
16 development.

17 So I was wondering again as you went through the
18 projects if any of the sites just jumped out at you at the
19 end going, "Oh my god. Why there?" As opposed to, "That
20 was really smart from the start."

21 MS. FABRIZIO: Ashley Fabrizio, Department of
22 Finance. With the SPI Susanville Cogeneration Facility
23 one of the – it's no longer online. It's been offline
24 since 2004 and part of the reason was connected to a
25 sawmill. And one of the reasons it went offline is

1 because there were other sawmills and Sierra Pacific
2 Industries sawmills in the vicinity. So it's prime placed
3 right in forest land, it could clear any kind of
4 underbrush that they needed but the cost of trucking in
5 the solid mass biofuel, these big wood pieces, was
6 prohibitively expensive because with so many other
7 cogeneration facilities. So maybe at least in certain
8 areas there is maybe a saturation of the market with
9 cogeneration facilities. But in the example of the BVP
10 Place in Ione that facility was - it was something to burn
11 all of the woodchips and sawdust and underbrush was really
12 needed in that area and so that was kind of a very
13 unintended benefit of the -

14 CHAIRMAN WEISENMILLER: When we originally
15 started the cogeneration program in late 70s a lot of the
16 really prime sites were the pulp and paper wood places.
17 They basically had wood piles and they basically would pay
18 people to take the waste and do something with it so it
19 wouldn't combust itself.

20 But you're right. There's so many projects that
21 were built that ultimately that when it went from
22 something you were paid to take to where you had to pay
23 for it. And not a clear link. And as you mentioned there
24 is a limited radius that you can transport. And in some
25 of the projects also in terms of changing realities. The

1 one where the spotted owls just came up. A number of the
2 biomass plants were just shut down period because where
3 they thought they were going to get the wood there was no
4 longer going to be any timber harvesting in that sense.
5 So it's a very - the biomass is very localized in terms of
6 where you can get the source. It's always been an issue
7 has been the guarantee of the fuel supply and the price
8 because at best you'll have a contract that will pay so
9 much. So if it runs out of match there, you'll run into
10 problems.

11 I guess the other thing that can happen is some
12 of these older projects too - was it some part that the
13 waste wood, people found a way to make products out of it
14 and so, again, it went from something that they would just
15 pay you to get it off our hands, please take this to
16 something that had impending and alternatively more
17 valuable uses than making fuel.

18 COMMISSIONER PETERMAN: Yes. I've heard the
19 same thing and have also heard anecdotally that some of
20 that waste wood is being exporting to other countries for
21 production, particularly China. And so you're seeing -
22 we've been wrestling with that. What the right scale is
23 for biomass facilities? And they really are site specific
24 and so it's hard to deploy a common model.

25 MR. SUDOL: Bartek Sudol from California

1 Volunteers. I promise I'm not a spokesperson for the
2 industry but it seems like fuel cells don't run into this
3 problem because the inputs are there. Unless you're
4 taking down a whole utility or a whole plant you always
5 have the inputs coming in. So that was actually a very
6 interesting facet of the technology.

7 Also, when I was looking at the Sonoma Mountain
8 Village Development in Rohnert Park, California it seems
9 that for areas of developments in urban areas to allow for
10 PV installations on rooftops requires a lot of forethought
11 by developers and also the planning of where to put that
12 installation. Because they have to find a place that's
13 relatively cheap to purchase but where folks want to live
14 but also that allows enough exposure to sunlight to
15 produce enough energy so those sites seem to be few and
16 far between but it seems that developers have cracked the
17 code, so to speak, and are able to locate – whether that's
18 an old industrial facility somewhere in the city that
19 people do want to move into. So I think that there really
20 are possibilities for land that is perhaps underused right
21 now or just sits and doesn't do anything for land for
22 people to build houses or some other facilities and build
23 those PV installations on them, provided they prepare the
24 building for the added weight.

25 COMMISSIONER PETERMAN: Yeah. Thank you for

1 those observations. I think you've correctly pointed out
2 that fuel cells have some beneficial attributes
3 particularly the baseload opportunity. I think the
4 challenge we've seen so far is the availability of
5 renewable fuel and getting that at scale and also the
6 Energy Commission has funded historically smaller scale -
7 smaller fuel cells, which are primarily used for backup
8 power. And we had a conversation in our first panel about
9 whether those technologies will be available to run for
10 longer periods of time and whether there is a residential
11 market to tap into. But I think with fuel cells we've
12 seen that there are different applications and actually in
13 the transportation space we've seen an increase in the use
14 with forklifts, for example. So there are some niche
15 markets where they're developing.

16 I'll ask the panel to stay here for one second
17 and see if we have any other Public Comments or comment on
18 the phone and then offer you the opportunity, which we
19 never do, to ask us a question if you'd like, if we don't
20 have any other public comment. Otherwise, any final
21 recommendations you have for us.

22 Just to make sure that you're aware of this
23 process. This is one of seven Workshops we're developing
24 as part of the Renewable Strategic Plan for the state. We
25 identified a number of issues and challenges with

1 developing renewables in a report last year in the IEPR
2 and in this IEPR we're moving forward with some actionable
3 recommendations. So anything you have to suggest to us,
4 we appreciate.

5 Any Public Comment in the room? On the phones?
6 All right then any recommendations from our panelists or
7 questions? I can't promise we'll answer them but we may
8 consider it.

9 MS. FABRIZIO: One question I had I mentioned
10 that the U.S. Federal Tax Credit for wind power is set to
11 expire at the end of 2012. I'm wondering if the Energy
12 Commission, in conjunction with the Governor's Office, is
13 in discussions with the federal government in trying to
14 extend that?

15 COMMISSIONER PETERMAN: So I'll first say the
16 PTC has expired in past times and we do know that there
17 has been an effect on the wind industry because of that.
18 We are supportive of extension of the PTC. I think anyone
19 who is involved in renewable development is and so I can't
20 say that I'm explicitly in coordination however I would
21 imagine that our representatives in D.C. are working on
22 this issue. But we've just acknowledged previously that
23 we're seeing a slowdown in the wind industry as that
24 deadline approaches. And we heard from these panelists
25 that they don't expect to see a vote on this until after

277

1 the election.

2 CHAIRMAN WEISENMILLER: No. I was going to say
3 that the Production Tax Credit is very important to the
4 wind industry, and certainly that sort of expansion has
5 been a general recommendation. The reality is that most
6 of state government is very Sacramento-focused and
7 certainly has people in D.C. who are trying to work these
8 issues. It is something that both capitals are very self-
9 focused and people's practice areas tend to be one or the
10 other. So in terms of trying to communicate on that it's,
11 you know, you could spend full time trying to find exactly
12 where are the federal measures at any given time. And I'm
13 afraid we're more of the bigger picture here. But again,
14 I think the Chadbourne gentlemen said he thought the odds
15 were better than 50 percent but it certainly would be
16 after the electrician and would be affected by the outcome
17 of the election on whether or not they can get people back
18 and get something cooperative together.

19 COMMISSIONER PETERMAN: And I will say AWEA,
20 which is the American Wind Energy Association which is the
21 representative trade group for the wind facilities, is
22 making this push at the federal level. I think you're
23 seeing the industry for the first time talk about a
24 willingness to consider a declining Production Tax Credit,
25 which it historically has not. I think it's an awareness

1 that a federal incentives may have reached a height with
2 ARRA funding and that as we go forward in financially
3 constrained times that some of these incentives will
4 decline. And that's really what this Workshop has been
5 about. To figure out as we move forward, as we see some
6 declining federal incentives what are additional things
7 that the state can do acknowledging that we're also cash
8 strapped, to facility the financing of these projects. And
9 particularly what we've heard and what we've seen
10 throughout the AB 118 program is the value that public
11 funding can play in leverage private funding. And having
12 the government as an early investor.

13 Other questions? Or recommendations?

14 MR. SUDOL: This is Bartek Sudol from California
15 Volunteers again. I wanted to ask you your opinion on the
16 applicability of PACE financing and the role it can play
17 in developing new installations. President Clinton
18 recently - former President Clinton recently was extolling
19 PACE as a pretty good tool for getting folks, you know,
20 for putting installations on their houses and other
21 facilities. So I wanted to see if you see PACE as a very
22 important part of this strategy as a toolkit in your
23 toolkit of getting more installations like this out there.

24 CHAIRMAN WEISENMILLER: One of our biggest
25 energy challenges is how to retrofit our existing housing

1 stock with energy efficiency. Most houses in California
2 were built before '77. The Energy Commission does
3 standards for new buildings but, again, if you look at our
4 housing stock most of it was built before the Energy
5 Commission was in existence. And, frankly, some of the
6 first rounds of standards you could do better now if you
7 were to retrofit.

8 And that's a complicated decision for people to
9 do. It requires a fair amount of money and for many of
10 our citizens their houses are under or their mortgages are
11 underwater. So basically the beauty of PACE and when it
12 was viable we were getting a very good response rate from
13 people to do retrofit. And that - when that - because
14 basically what you're doing is connecting the loan to the
15 drawing property value and there's a lot of things people
16 pay for routinely in their property tax. So certainly
17 getting more efficient building. So it's a very good
18 public response once that was blocked. That's had an
19 impact. We've tried to figure out other ways, maybe using
20 utility bills or something like that, again, to provide
21 that convenient financing form. Certainly the Governor
22 has been very active. First, as Attorney General and now
23 as Governor on this issue. Part of the reality is that to
24 the extent that so many of our houses have mortgages
25 underwater means is that banks are particularly sensitive

1 if you're trying to put someone else higher in the loading
2 order on the payout. And so it's - it certainly is a
3 complicated issue but, again, if we were to talk about one
4 of the most important policy issues we have a state it's
5 how to retrofit the existing buildings.

6 COMMISSIONER PETERMAN: Echo the Chair's
7 comments. We were discussing this in an earlier panel.
8 That this is a hard market, the residential market, to
9 finance because these are not projects that are going to
10 be financed through project finance. So there's not many
11 opportunities available. There's your own cash equity or
12 there's something like a PACE program or there's the
13 leasing model, which would require then no obligation on
14 the homeowner or the property. And I think with the
15 concerns around PACE right now, as the Chair has
16 mentioned, around who has the first rights and liens and
17 such and debt order. We're seeing more interest, I think,
18 in the lease model and we want to encourage that but also
19 on-bill financing, which would do a similar thing PACE but
20 be tied to your utility payments, as a viable model that
21 the states pursuing.

22 So thank you. I think we are at our limit. We
23 may even end five minutes earlier. Thank you to our
24 panelists and thank you for your case studies. Hopefully
25 you'll enter them into the record.

1 MR. SUDOL: Thank you for having us.

2 COMMISSIONER PETERMAN: Great. Thank you.

3 CHAIRMAN WEISENMILLER: Thank you. So with
4 that, thank everyone who has participated in our panels
5 today. This is the sixth of our seven renewable strategic
6 plan workshops and we got a lot of information. A lot of
7 things to think about. Look forward to the comments being
8 filed and for your continued engagement.

9 Our next Workshop is on January 11. It is on –
10 oh, gosh. June 11. Are we in June yet? Our next
11 Workshop is June 11. It's on Integration and I think that
12 it will integrate many of the topics that we've been
13 talking about in this whirlwind tour of renewables over
14 the last month.

15 Chair, any comments?

16 CHAIRMAN WEISENMILLER: Yeah. Certainly I'd
17 like to thank for their participation together,
18 particularly the last panel. And, again, we're looking
19 forward to another Workshop but we are getting close to
20 the end point.

21 COMMISSIONER PETERMAN: And we'd be remiss also
22 not to say thank you to the agency mentors of our last
23 panelists. Obviously, they were well prepared. I don't
24 think that they expected to come up here and speak but I
25 appreciated learning from them and I think we could have

1 continued our dialogue into the night.

2 So thanks again. And thank you to Suzanne
3 Korosec who continues her leadership on the IEPR and
4 Heather Raitt as well.

5 With that, we're adjourned. Thank you.

6 [Meeting is adjourned at 4:58 p.m.]

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25