

STATE OF CALIFORNIA – THE RESOURCES AGENCY
BEFORE THE
CALIFORNIA ENERGY COMMISSION (CEC)

California Energy Commission

DOCKETED
06-NSHP-1

TN # 2914

DEC. 24 2012

In the matter of,)
) Docket No. 16-NSHP-1
)
Design of the New Solar Homes)
Partnership)

**Staff Workshop on
Solar on New Residential Construction**

California Energy Commission
Hearing Room A
1516 9th Street
Sacramento, California

Wednesday, December 5, 2012
9:00 A.M.

Reported by:
Tahsha Sanbrailo

APPEARANCES

COMMISSIONERS

Carla Peterman
Andrew McAllister

ADVISERS

Saul Gomez, First Adviser to Commissioner Peterman
Pat Saxton, Second Adviser to Commissioner McAllister

STAFF

Le-Quyen Nguyen
Craig Hoellwarth
Piamer Vund
Eli Harland
Martha Brook
Farakh Nasim
Rena Nakar
Elizabeth Hutchison
Kevin Barker
Bill Pennington

Also Present (* Via WebEx)

PANEL I

Le-Quyen Nguyen, Moderator, CEC
Walter Cuculic, SolarCity
Matt Brust, SunPower
Jacob Atalla, KB Homes
Bob Raymer, CBIA
Joachim Seel, LBNL

PUBLIC COMMENT

George Nesbitt, Cal-HERS
Mark Byington, President, Cobalt Power Systems
Smita Gupta, ITRON
Meredith Griffith, SunPower
*Steve Zuretti, Solar Energy Industry Association
Bonnie Corwin, Cobalt Power Systems

APPEARANCES (CONT.)

PANEL II

Eli Harland, Moderator, CEC
*Albert Luu, SolarCity
Eric Weingarten, SolarCity
Lew Milford, CESA
Ethan Sprague, SunRun
Matt Brust, SunPower
*Sheila Berger, SCEIP

PUBLIC COMMENT

Kathy Fogel, California Public Utilities Commission
George Nesbitt, Cal-HERS
Mike Hodgson, ConSol Energy

PANEL III

Farakh Nasim, Moderator, CEC
Jacob Atalla, KB Home
Bob Raymer, CBIA
Mike Hodgson, ConSol Energy
Matt Brust, SunPower

PUBLIC COMMENT

Dan Chia, SolarCity
Tim Tutt, SMUD
George Nesbitt, Cal-HERS
Kathy Fogel, California Public Utilities Commission
Jacob Atalla, KB Home

APPEARANCES (CONT.)

PANEL IV

Elizabeth Hutchison, Moderator, CEC

Jacob Atalla, KB Home

Eric Weingarten, SolarCity

Lew Milford, CESA

*Scott Weber, Contractors State License Board

*Melanie Bidwell, Contractors State License Board

PUBLIC COMMENT

George Nesbitt, HERS

INDEX

	Page
Introduction/Housekeeping - Le-Quyen Nguyen	6
Opening Remarks	
Commissioner Carla Peterman	8
Overview of New Solar Homes Partnership Program	
Le-Quyen Nguyen	9
Panel I - Market Outlook for PV on New Construction	
Presentation by Joachim Seel, LBNL	11
Presentation by Bob Raymer, CBIA	21
Panel Discussion	26
Panel II - Solar Financing Models	
Overview by Eli Harland	111
Panel Discussion	119
Panel III - Energy Efficiency	
Overview by Craig Hoellwarth	164
Presentation by Martha Brook	167
Panel Discussion	182
Panel IV - Outreach and Marketing, Warranties, Consumer	
Advocacy/Protection	
Presentation by Elizabeth Hutchison	225
Panel Discussion	228
Adjournment	265
Reporter's Certificate	266
Transcriber's Certificate	267

1 P R O C E E D I N G S

2 DECEMBER 5, 2012 9:00 A.M.

3 MS. NGUYEN: Good morning everybody, it looks
4 like we're ready to start. So, thank you very much for
5 taking the time out of your busy days to attend our
6 Solar and New Residential Construction Workshop.

7 So, I'll first welcome everybody and then
8 provide some brief housekeeping before we get to the
9 exciting stuff.

10 In case of a fire, please -- or some other kind
11 of an emergency, please follow staff out the doors and
12 we'll meet in the park that's kiddie corner to here, and
13 then once everything's safe we'll come back here.

14 If you do decide that you need to take a break
15 or use the rest room, the rest rooms are -- if you exit
16 the double doors and make a left, the rest rooms will be
17 on your right side.

18 And if you do need to take a break and get a
19 snack, or a drink of water or some other refreshment,
20 you can go up the stairs and there is a little café at
21 the end of our atrium that you can use the vending
22 machines or you can go into the store and buy something.

23 So, we'll be doing a panel format for today's
24 workshop. We'll be talking about different topics, so
25 the first one will be the Market Outlook for PV on New

1 Construction, and then we'll go over Solar Financing
2 Models, and Energy Efficiency, and then Outreach and
3 Marketing, Warranties and Consumer Advocacy/Protection.

4 So, what we'll do is we'll ask questions of the
5 panelists for them to discuss and then at the end of
6 each panel we will allow some time for an audience
7 discussion.

8 And we do have participants on WebEx so what
9 we'll do is we'll take questions from the audience that
10 are at the Energy Commission and then we'll go to WebEx,
11 and ask for any questions from WebEx.

12 So, I'd like to quickly introduce the people who
13 will be participating. Each of the panelists we'll
14 introduce prior to the panel, but staff here from the
15 Energy Commission. We have Commissioner Peterman up on
16 the dais and to her right is her first adviser, Saul
17 Gomez.

18 And then we also have Andrew McAllister's second
19 adviser, Pat Saxton.

20 From the Energy Commission we have Craig
21 Hoellwarth, and we have Piamer Vund, and we have Eli
22 Harland, Farakh Nasim, Rena Nakar, and Elizabeth
23 Hutchison, and I am Le-Quyen Nguyen.

24 And so I guess we'll get started, Commissioner,
25 if you'd like to make opening remarks.

1 COMMISSIONER PETERMAN: Sure, thank you. Good
2 morning everyone and welcome. It's a good day to be
3 inside and out of the rain and here focusing on a little
4 sunshine.

5 It's been a very busy and exciting year for the
6 New Solar Homes Partnership Program. The program
7 received funding earlier in the year and so now we have
8 adequate funding to continue to meet the demand we see
9 in this market.

10 We had a tremendous amount of interest and
11 applications in the program at the end of the last year
12 and it really spiked my interest in understanding more
13 what's been changing and how the market has been
14 involved in both construction and solar on new homes.

15 I'll be joined throughout the day, as well, by
16 Commissioner Andrew McAllister, who's our Lead
17 Commissioner in Energy Efficiency.

18 Because, indeed, we both appreciate that we need
19 to work together to move forward to meet zero net energy
20 home goals and better integrate our energy efficiency,
21 and residential solar programs.

22 There's been so much positive movement within
23 the construction sector, as well as in the PV sector
24 with prices going down that it's a great opportunity to
25 continue to expand Solar New Homes and reach our goal of

1 400 -- approximately 400 megawatts of solar on new homes
2 by 2016.

3 Also, the Commission's considered the amount of
4 innovation in the financing of residential solar and we
5 need programs to be flexible enough to account for
6 different financing mechanisms, while still maintaining
7 the integrity of the program.

8 As we move forward to reach our goals in this
9 program, I wanted to hold this workshop to better
10 understand some of the innovations that are happening in
11 this sector.

12 Staff will be working on a new, revised
13 guidebook for the program in 2013 and this workshop will
14 form a foundation for some of the issues that the staff
15 will be considering, although staff will be having
16 future meetings and workshops on the actual guidebook,
17 itself.

18 So, thank you in advance for being here, look
19 forward to all your comments both verbal, today, as well
20 as written, and looking forward to working with you in
21 the next few months on this program. Thanks.

22 MS. NGUYEN: Okay, thank you, Commissioner.

23 So, for those of you who are unfamiliar with the
24 New Solar Homes Partnership, I'll go over a brief
25 background so you can keep that in mind when we're

1 discussing these topics.

2 So, the program began in 2007. It's a ten-year
3 program so we'll stop accepting applications at the end
4 of 2016.

5 We have three main goals; help establish a self-
6 sufficient solar industry. As Commissioner Peterman
7 mentioned, we do have a megawatt target goal. And we
8 also seek to place solar energy systems on 50 percent of
9 new homes by the end of our program.

10 Key eligibility points, it has to be new
11 residential construction, you must be an electric
12 customer of PG&E, SCE, SDG&E, or Bear Valley Electric,
13 and your project must achieve high levels of energy
14 efficiency.

15 So, it's an expected performance-based incentive
16 that's based on the anticipated output of your system
17 and it's a one-time, up-front incentive.

18 And then some basic statistics, so far we have
19 32.3 megawatts reserved and we've also paid on 20.3
20 megawatts.

21 So, now we'll start with our panels and the
22 first one is the Market Outlook for PV on New
23 Construction. And we'll begin with a guess presentation
24 on the state of the PV market by Joachim Seel from the
25 Lawrence Berkeley National Laboratory.

1 MR. SEEL: Thank you so much for the invitation
2 to speak here today, it's going to be a pleasure for me
3 to introduce some of the most recent numbers from a
4 publication which the Lawrence Berkeley National
5 Laboratory recently published, the *Tracking the Sun*
6 *Number 5 Report*, where we track PV installation prices
7 for systems installed across the United States,
8 including the year 2011. We don't really have a lot of
9 data going beyond that but, yeah, looking forward to
10 giving you a brief overview of some of our recent
11 research.

12 To give you a brief overview of my presentation,
13 at first just capacity additions in the United States
14 overall, then a brief work on price development, and a
15 brief analysis on prices as a comparison between new
16 homes and retrofits, especially in California.

17 To conclude, I would like to point out an
18 analysis which we did on international experiences,
19 which highlight further opportunities to reduce costs in
20 the future, in particular in soft costs.

21 To start, however, I would like to give a brief
22 overview of installations in the PC sector in the United
23 States. This builds on the research by David Feldman of
24 Robert Margolis at NREL.

25 The numbers here presented come from GTM, in

1 particular, and Bloomberg New Energy Finance.

2 So, overall we have seen a very strong first
3 half of 2012, with 1.2 gigawatts installed. This is
4 double the capacity which we had installed at, you know,
5 a similar time period in 2011.

6 However, many analysts forecast that the market
7 growth will slow down a little bit towards the end of
8 the year so that we reach around 3 gigawatts this year.

9 California has been, again, the leading State in
10 the nation, with 217 megawatts installed in the second
11 quarter of 2012, followed by Arizona, New Jersey, and
12 then Nevada, Texas, Illinois, and North Carolina.

13 In terms of PV systems installed in California,
14 as many of you know the California Solar Initiative, the
15 CSI Retrofit Program, the incentives are nearly
16 depleted. There's quite a bit of uncertainty in the
17 market how we will go after that, whether prices will
18 have to be reduced in order to maintain attractiveness
19 for customers, or whether just the quantity will reduce
20 and less people will decide to build.

21 In many states we saw a decline in
22 nonresidential installations due to the uncertainty
23 associated with the REC prices and the decrease there.

24 This graph now comes from our publication,
25 *Tracking the Sun*. Overall in the year 2011 we saw a

1 continuous trend of declining prices. So, in general,
2 as many of you know, utility-scale prices are lower than
3 commercial and residential prices.

4 The median price is followed by a 70 to 90 cents
5 a watt, so that's a decrease of 11 to 14 percent from
6 the year 2010 until 2011 across all prices.

7 When presenting these median prices of course
8 the distribution of prices is much larger across states,
9 with Texas being one of the lowest cost states and
10 Washington D.C. being one of the highest cost states,
11 California ranging more in the upper segment of the
12 price distribution.

13 Now, I would like to turn to California and the
14 prices which we observed for the year -- well, 2007
15 through the year 2011.

16 It is a little bit difficult to compare pricing
17 between retrofits and new home installations because of
18 a distribution of system sizes. So, in the new home
19 segment we saw a cluster of systems in the 2 to 3
20 kilowatt segment and another cluster around 5 kilowatts.

21 And that size distribution is a little bit off
22 in comparison to the traditional retrofit market and
23 because of the economies of scale of which we observed
24 where larger residential systems are cheaper on a per-
25 watt basis, the comparison is a little bit tricky, which

1 is why here we focused only on the very small sector of
2 2 to 3 kilowatts.

3 And we saw overall that the prices reported for
4 the -- in the New Solar Homes Programs are lower than
5 the prices for retrofits. So, on average, that is
6 roughly a dollar.

7 The prices of building integrated PV are roughly
8 similar to rack-mounted prices in the regular CSI
9 program.

10 And we were not able to distinguish in this
11 pricing analysis between systems installed by third-
12 party programs versus systems installed by -- which are
13 customer owned. But to my understanding, in the NHSP
14 program so far, of the completed programs only a few
15 have been third-party owned.

16 Overall, we saw in the reports for the completed
17 programs we saw a strong decline for systems being
18 completed in the year 2010 and 2011, which I believe has
19 to do with the overall stagnation in the housing sector.

20 For the first time, rack-mounted systems became
21 more common than building integrated PV systems.

22 However, building integrated PV systems are still more
23 common in the small NSHP program in comparison to the
24 overall California CSI program.

25 And last, a brief word on an international

1 comparison. This graph here shows PV prices for
2 customer-owned PV systems, so excludes any kind of
3 third-party pricing, between the United States and
4 Germany.

5 And we see that for the year 2010 until 2012
6 German prices were roughly \$2.50 to \$3.00 a watt lower
7 in comparison to U.S. prices.

8 So, I think we can talk about that maybe a
9 little bit later, but the purpose of this slide was only
10 to indicate that we have not reached, yet, the possible
11 floor of pricing in the United States, but that there
12 are further opportunities to optimize the system.

13 This is just a very brief overview of a recent
14 analysis which we have done, which indicates some of the
15 sources of the price differences, where we see them.
16 Most of the price differences come from the so-called
17 soft balance of system costs.

18 And with that, I think I would like to conclude
19 this brief introduction. Thank you very much for your
20 attention.

21 COMMISSIONER PETERMAN: Thank you. I have one
22 initial follow-up questions and I imagine other
23 questions will be covered through the panel. On your
24 slide five, where you show median prices for 2 to 3
25 kilowatts, can you speak to the CSI third-party line

1 there? It looks pretty linear. I'm just kind of
2 curious a bit more about that data, and how many
3 observations, and what share of the CSI were third-party
4 releases?

5 MR. SEEL: Sure, sure. So, the third-party
6 systems which were included here, only those third-party
7 systems where there has been an actual transaction
8 between a third-party installer and so it's a non-
9 integrated third-party installer. For example, like
10 someone where we actually were able to observe a
11 transaction price.

12 COMMISSIONER PETERMAN: Okay.

13 MR. SEEL: We excluded any kind of third-party
14 pricing which might fall into the realm of the value-
15 based pricing due to the uncertainty of what, exactly,
16 is included and these value-based pricing reports.

17 Overall in the year 2007 and 2007 we didn't have
18 that many third-party systems, yet, so it really only
19 picked up in 2009, 2010 and 2011.

20 I believe in 2011 we had 600 systems here
21 included for the third-party -- this is our program for
22 the then 2 to 3 kilowatts.

23 COMMISSIONER PETERMAN: Great, thanks. And I
24 saw that Bob Raymer was raising his mic to ask a couple
25 questions.

1 MR. RAYMER: A couple questions, Bob Raymer with
2 California Building Industry Association.

3 First off, will the Power Point presentation be
4 available after today's workshop because I'd like to get
5 my hands on it and kind of get warm and fuzzy with it.
6 Thank you very much.

7 And with regards to integrated versus rack
8 mounted are you seeing -- it seems to me my experience
9 that we're seeing a lot more rack-mounted on new
10 construction, which is a trend I didn't expect because
11 of the leasing programs and the high popularity of the
12 leasing programs. Are you seeing a whole lot more rack-
13 mounted systems going on new homes than integrated, in
14 the last two years in particular?

15 MR. SEEL: Yeah, so we don't have a lot of
16 visibility of projects which have applied at the moment
17 and which are not yet completed, so we only see data on
18 projects which have been completed.

19 But I think what this graph here shows, on slide
20 number six, speaks to the experience that we have seen
21 an uptake in rack-mounting systems versus building-
22 integrated systems, yes.

23 MR. RAYMER: Thank you.

24 MR. SEEL: Yeah, please.

25 MR. NESBITT: George Nesbitt, Cal-HERS. To what

1 extent are these prices priced before any rebates, any
2 kind of things like that, and especially with the
3 comparison with Germany?

4 MR. SEEL: Yes.

5 MR. NESBITT: It's not a cheap place to live so,
6 you know, my German relatives do need a little profit to
7 afford their houses, and Mercedes, and Audis.

8 COMMISSIONER PETERMAN: Mr. Nesbitt, I almost
9 didn't recognize you without your hat.

10 MR. NESBITT: Well, you know.

11 (Laughter)

12 MR. SEEL: Well, thank you very much for your
13 question, that was -- it's great that you asked it.

14 MR. NESBITT: It looks like you have a new
15 hairdo, too.

16 MR. SEEL: Great that you asked that question
17 and provided me an opportunity to clarify.

18 So, all the prices which are reported are pre
19 any kind of incentive. So, it is the incentives of the
20 NSHP or the CSI rebates are not included in any of these
21 prices.

22 Also, the prices in Germany, basically, most of
23 the systems in Germany are -- well, the subsidy -- it's
24 not really a subsidy, but the electricity is sold with a
25 feed-in tariff and there's no up-front rebate

1 whatsoever. So, it's only a guaranteed sales price for
2 the electricity, but no up-front rebate is received.
3 So, the \$3 a watt or, now, for Q-3 at \$2.50 or so is the
4 actual transaction price between the installer and the
5 residential customer.

6 MR. NESBITT: And on the third-party releases, I
7 imagine perhaps one of the difficulties is the sales
8 price or lease price actually includes the fact the
9 third party is getting the tax credits, and so you may
10 not be able to see the true installed cost versus the
11 cost to the customer, which is being subsidized by
12 Federal tax credits in the rebates.

13 MR. SEEL: So, the prices which we have here
14 exclude any kind of -- well, so the ITC or any kind of
15 rebate is not in particular taken into account for.
16 It's just the prices which are charged for the system.

17 With the third-party folks it mirrors, again, so
18 the third -- the ITC, the 30 percent ITC is included in
19 that price. In general, I guess there are some
20 difficulties with assessing exactly in transaction
21 prices for third-party PV systems because they bill some
22 additional services, maintenance over a certain period
23 of years into it, which is why for most of our analysis
24 we tried to exclude them. But as best as we could, we
25 tried to report accurate pricing here.

1 COMMISSIONER PETERMAN: Any other questions from
2 the panel?

3 MR. BRUST: I might just add, to Bob's point
4 earlier, there are no manufacturers, anymore, building
5 BIPD products at scale, so I think that, you know,
6 you're going to see a very substantial drop off,
7 obviously, in the market for that.

8 And that, really, the reason for that, I don't
9 believe, had as much to do with leasing as it did have
10 to do with the general acceptance of panels in the
11 market where there wasn't really a market need for the
12 BIPD product.

13 And then to the last point here, I would just
14 make the point that Germany's obviously a much more
15 mature solar industry with what I would call a screaming
16 value proposition. That means that your customer
17 acquisition costs are you don't really have any versus
18 California where we're a much more immature relative to
19 these -- we're the most mature state in the Union, but
20 at the same time we have much higher customer
21 acquisition costs here, relative to there. So, I think
22 that's a big part of the cost, actually, than the soft
23 costs there that they don't have, that we certainly have
24 here in the States.

25 COMMISSIONER PETERMAN: Great, thanks.

1 Well, Le-Quyen, do you want to get going with
2 the next panel or with this panel?

3 MS. NGUYEN: Thank you, Joachim.

4 And our next guest presentation is going to be
5 from Bob Raymer, from the California Building Industry
6 Association.

7 MR. RAYMER: Thanks. Thank you, Le-Quyen,
8 Commissioner. I'm Bob Raymer, I'm the Senior Engineer
9 with the California Building Industry Association and
10 today I'd like to give about a five-minute presentation
11 on sort of just the raw housing data, sort of where
12 we've been and where we're heading and while if you take
13 this into its entirety, the chart in front of you, it's
14 not necessarily overall a very happy chart.

15 The good news is since we bottom out in 2009
16 things have been getting better, albeit very slowly.

17 Anyway, the past six years, obviously, have been
18 a very difficult time for the housing sector.

19 And by the way, I've put copies of this chart
20 out in front so that if you leave and want to grab a
21 copy, go for it.

22 We're slowing emerging from the worst economic
23 downturn that the housing industry has experienced in
24 the last 60 years. And we have -- and that involves our
25 Construction Industry Research Board, which is the basis

1 for this information, now housed in Sacramento with our
2 California Home Building Foundation, our nonprofit
3 education and research arm.

4 This data has been compiled, this is one of the
5 sources for the real estate data that you see every
6 Sunday in the newspaper, whether it's the *L.A. Times*,
7 *The Sacramento Bee*, or et cetera. It's been a long-
8 standing institution.

9 And one of the nice things about its data
10 gathering techniques is that it will go back, CIRB will
11 go back in future years and retool the data to make sure
12 that it stays very accurate.

13 For example, the numbers for 2010 and 2011 have
14 been tweaked a little bit once we got final data coming
15 in as the years and the time went by.

16 If you look at 2007, we did a total of 113,000
17 units, that's both multi-family and single-family.

18 Putting this into perspective, 2007 was an
19 absolutely disastrous year for the building industry.
20 Normally, given we're always going through these
21 economic cycles, upturns, downturns, or whatever, but
22 given past practice going back 25 years, when you
23 normally have a downturn of that magnitude you go right
24 into a very strong resurgence simply because housing
25 demand being what it is you go through your cycle and by

1 the time we bottomed out in 2007 we should have been
2 spiking back up within a very prominent way. That
3 didn't happen.

4 The collapse of the housing sector continued for
5 two more years and in 2009 we hit the all-time low in
6 the 60 years of keeping this data.

7 On a positive note we're coming out very slowly,
8 but the recovery has been quite anemic, at best.

9 2010 was the second worst year on record, 2011
10 was the third worst year on record and so on, you get
11 the picture.

12 Now, the interesting things that you can take
13 away from this date, over the past 30 years single-
14 family homes have, on average, usually outpaced multi-
15 family by a factor of two to one.

16 For the short term that has changed
17 substantially. In 2012 we will be building more multi-
18 family units than single-family. I think that is only
19 the second time in the past 35 years that we have seen
20 that happen.

21 And by the way, when I say single-family, I mean
22 one and two family dwellings. It's a single-family and
23 a duplex unit. Multi-family is anything three units or
24 more.

25 In 2013 we anticipate that multi-family units

1 will once again equal single-family units and by 2014
2 single-family will start moving ahead.

3 You may have recently heard from a UCLA report
4 that they're projecting in and around 105 single-family
5 units being built in 2013. I have no idea where they
6 came up with that figure.

7 We don't have enough finish lots in the State of
8 California to do 105 single-family units in 2013. I
9 suspect they're probably looking at what the demand is
10 for single-family units and not what we'll actually be
11 constructing here.

12 Anyway, on a negative note, in 2009 industry
13 lost about 80 percent of its workforce. Some
14 jurisdictions it was even worse than that. And you need
15 to keep in mind, particularly when you're looking at
16 implementation of any type of regulation, including the
17 Energy Efficiency Standards, the same thing happened to
18 building departments throughout the State.

19 So, the plan checkers and the site inspectors,
20 those local offices with the building departments have
21 lost, I would say, at least 80 percent of their
22 workforce.

23 A good example I like to use is a jurisdiction
24 close to Chula Vista, in the San Diego area. They used
25 to have a staff of 42 building inspectors and plan

1 checkers. They now have two and one of them is a
2 transfer due to seniority, he came in from planning and
3 land use.

4 And so, effectively, they've gone from 22 [sic]
5 people down to one with experience in Building Code plan
6 checking and inspection.

7 Now, things are turning around but, as you can
8 see, terribly slowly. And, usually, we start to see a
9 resurgence in these building departments about a year
10 after industry comes back because, of course, their
11 funding comes directly from building permit plan check
12 fees.

13 This turnover labor has a direct impact, of
14 course, on implementation and enforcement of the Energy
15 Regs.

16 And one thing to keep in mind, of the thousands
17 and thousands of site superintendents, that's what we
18 call the foremen for the building industry, the
19 subcontractors, the thousands of subcontractors, and the
20 plan checkers and building inspectors are out there, not
21 very many were around when the last set of Energy Regs
22 took effect in 2010 and, certainly, they're not up to
23 speed on the regs that are going to take effect in
24 January of 2014.

25 So, in 2010 the regs saw an increase in

1 stringency of 20 percent. The 2013 regs that take
2 effect January 2014, with 25 percent, there's a lot of
3 change that is happening with building design,
4 subcontractor work, and with plan check and inspection.

5 There are tens of thousands of individuals
6 throughout the State who need to get up to speed on
7 this, who have kind of been out of the market for the
8 past five years.

9 And one of the things we'll be talking about
10 today is the need to get education and training so that
11 both solar and energy efficiency kind of gets back on
12 track at the field level.

13 And that concludes my presentation. Were there
14 any questions?

15 Thank you.

16 COMMISSIONER PETERMAN: Thank you. I think you
17 raised a lot of interesting points, but I'll hold off on
18 any questions, I think they'll probably be answered
19 during the discussion.

20 Any questions?

21 MS. NGUYEN: Thank you, Bob, for the
22 presentation.

23 I'll finish introducing the rest of the
24 panelists. So, so far you've met Joachim Seel, he's
25 with the Electricity, Markets and Policy Group at the

1 Lawrence Berkeley National Laboratory.

2 And you've also met Bob Raymer, he's a Senior
3 Engineer and Technical Director at the California
4 Building Industry Association.

5 Next to him is Jacob Atalla, he's the Senior
6 Director of Sustainability at KB Homes.

7 Next to Jacob is Matt Brust. He's the National
8 Residential Sales Director at SunPower.

9 And rounding off our panel we have Walter
10 Cuculic. He's the National Manager of Home Builder
11 Programs at SolarCity.

12 So, if each of the panelists would like to
13 provide a two- to three-minute introduction of
14 themselves and their background on the PV or new
15 residential construction markets, and we'll start with
16 Joachim.

17 MR. SEEL: Thank you. Is this on? Yes, it is,
18 okay.

19 So, I have been with the Electricity, Markets
20 and Policy Group for nearly two years, now, at the
21 Lawrence Berkeley National Laboratory and have done
22 their PV pricing analysis, and a little bit of wind
23 analysis.

24 I have a master's in science at the Energy and
25 Resources Group at UC Berkeley, and a master in public

1 policy from the Goldman School of Public Policy at UC
2 Berkeley. And just recently enrolled in a PhD program
3 at UC Berkeley, as well, focusing on electricity market
4 design.

5 And I recently published a study on cost
6 comparisons between German PV systems and the United
7 States, the US PV systems, and I'm happy to talk about
8 that later on, as well.

9 MR. RAYMER: Thank you, Le-Quyen. As I've
10 already indicated, I'm Bob Raymer, I'm Senior Engineer
11 with the Building Industry Association.

12 We're a statewide trade association and we have
13 a little over 5,000 member companies. Our primary
14 interest is residential construction, but about 15 to 20
15 percent of our members are also involved in light
16 commercial construction.

17 I've been representing CBI at the local, state
18 and national level for, geez, 31 years now, mostly on
19 issues of buildings codes, but this takes place in front
20 of both the Legislature, and probably about ten
21 different state agencies primarily, the Energy
22 Commission, the Building Standards Commission, the
23 Department of Housing and the State Fire Marshal, to
24 name a few.

25 And I've been involved with the development and

1 adoption of energy regs, representing CBI and before the
2 Energy Commission since 1981.

3 MR. ATALLA: I'm Jacob Atalla with KB Homes,
4 Senior Director of Sustainability. KB Home is a
5 national builder based in California.

6 We have been involved with the solar industry
7 since 2005 we installed our first systems with PV. And
8 since then transitioned to panel systems, for reasons
9 that were mentioned, and others that I will be happy to
10 expand on later.

11 Initially, we started solar as an option. Over
12 the years and particularly in 2011, we started
13 installing solar as the standard in select communities
14 in Southern California and continue to do so at this
15 time.

16 MR. BRUST: So, I'm Matt Brust and a slight
17 clarification, I'm the National Field Director for the
18 New Homes Division within SunPower.

19 I have been with the company for over six years.
20 I began my career with the company working under the ERP
21 program, so at the time we developed -- we recognized
22 that the new homes was a substantially different market
23 or channel than residential retrofit or commercial, and
24 that we needed to have a business focused purely, pure
25 play on homebuilders and, basically, adapting a business

1 model that adapted to the homebuilders business model.

2 So, I think we delivered our first homes in
3 2006. Today we'll reach, I think, our ten thousandth
4 new solar home sometime in January or February of next
5 year.

6 So, we have a substantial amount of experience
7 and I would just say that, you know, over the last five
8 or six years we've seen a tremendous amount of change
9 and the New Solar Home Partnership has been incredibly
10 important, I think, to the success that I believe that
11 we have had, and are having.

12 Recent data that we acquired from the New Solar
13 Home Partnership, as well as the data from CBIA and CIRB
14 indicates that in 2012 we'll deliver 18 percent of all
15 newly constructed single-family homes in California will
16 be solar homes. That's 18 percent, up from 7 percent
17 last year.

18 So, we'll talk more, I think, about what has
19 caused that large spike in adoption.

20 So, thank you for having me here.

21 MR. RAYMER: Wow, that's huge.

22 MR. CUCULIC: Similar to Matt, my name's Walter
23 Cuculic, I'm with SolarCity, I'm in a similar role as to
24 Matt. I'm the National Sales Manager for SolarCity's
25 builder programs.

1 I've been with SolarCity almost two years, now.
2 Prior to that I was actually in a similar role to Jacob,
3 running Pulte Groups, they're the nation's largest home
4 builder, their sustainability programs, as well.

5 So, obviously, I understand both sides of the
6 builder equation, as well as the solar equation. So,
7 thank you for having us.

8 MS. NGUYEN: Thank you. So, I guess we'll get
9 started with all the exciting questions. Question
10 number one, are you guys ready?

11 (Laughter)

12 MS. NGUYEN: Okay, well, I guess I sent these to
13 you ahead of time so you're ready.

14 Solar PV system costs have significantly
15 decreased in recent years. Have total system costs
16 bottomed out? If not, which costs can be expected to
17 decrease in the short- and medium-terms?

18 And then following up, how can further cost
19 reductions be encouraged to the point that PV is cost-
20 effective without incentives?

21 So, what we'll do is anybody who wants to offer
22 an opinion or an answer to this can go ahead and speak,
23 and if nobody speaks then I will randomly pick a lucky
24 winner.

25 (Laughter)

1 COMMISSIONER PETERMAN: I think maybe picking on
2 one panel and I like it, you'll be picked for more of
3 these.

4 MR. BRUST: I'll be happy to get the
5 conversation going.

6 MS. NGUYEN: Great.

7 MR. BRUST: So, you know, when you talk about
8 solar costs we're talking about a stack that includes a
9 whole bunch of different components and, you know, what
10 used to be a major component of that cost is the PV
11 panels.

12 And we've seen, over the last couple years, a
13 significant drop in the cost of PV panels to -- from
14 what they had been. And I think it's really important
15 to point out that the price is not necessarily -- we
16 haven't gotten there, necessarily, because we've gotten
17 the industry to scale, but because we're in a
18 consolidation period.

19 So, there's basically an over-supply in the
20 market or, you know, with not as much demand as we have
21 for supplies and that kind of stuff.

22 And if you look at the financials of the major
23 solar companies, you know, in the world, particularly we
24 compete primarily against Chinese and European panel
25 manufacturers and you find that they're either going out

1 of business or they have negative gross margins between,
2 you know, 6 percent and 25 percent, which means they're
3 selling the product at a price that is less than what
4 they're manufacturing it for. And it's just not a
5 sustainable market and we expect that to change over the
6 next few years.

7 So, to answer the question, you know, where do
8 we expect to see continued price decreases? Is it
9 possible that panels will continue to go down?

10 In the future, yes. In the short term I think,
11 you know, we're not going to see anything near what
12 we've seen in the past and we have to wait for this
13 consolidation period or event to take place before we
14 kind of come back into a healthy market where companies
15 are profitable, you know, to the point that they need to
16 be.

17 Outside of that, the panels, there's obviously
18 several other components of the cost stack that we look
19 at very closely. SunPower is a downstream integrated
20 business, so we're not just interested in the panels,
21 we're interested in every piece of that cost act and
22 figuring out ways to reuse those things.

23 So, you know, to address a few of them, one of
24 them is obviously labor and I feel like in the
25 homebuilding industry, anyway, we're working with very

1 sophisticated labor providers, and sophisticated
2 customers, and the builder and that they've learned how
3 to work with trade partners to get the cost as low as
4 possible and get the volume and scale that they need to
5 out of their labor partners.

6 And so, I think as Bob mentioned, you know, we
7 lost 80 percent of the workforce and now, all of the
8 sudden, we see a rebound in the market and there's a
9 major workforce shortage out there.

10 So, one could foresee that as we get back to
11 recovery, and there's a workforce shortage, that you
12 could potentially start to begin to see cost increases
13 on the labor side.

14 And in fact, I think Jacob could probably report
15 that they're seeing -- they are seeing across their
16 trades workforce or trade cost increases due to labor
17 and lack of or shortages of labor.

18 Then there are the other components like
19 inverters. We have not seen major improvements in
20 inverter pricing, certainly not in line or didn't toe
21 with what happened in the panel manufacturing business.

22 And then you get into some of the other, I
23 guess, fixed costs of racking systems. You know, we
24 don't see any major, you know, innovative things that
25 are going to happen that are going to have substantial

1 increases and decreases in price there, but there are
2 opportunities, surely, to save on labor and save on
3 racking through innovation, which will certainly take
4 place over time.

5 And then it would take me to sort of the soft
6 costs. You know, your administration of the programs,
7 you're administration of the NSHP, utility
8 interconnections, the managing of the customer, and the
9 expectations of the jurisdictions.

10 And I believe that there's cost savings
11 available there, but we're going to have to work to get
12 it. There isn't any major component or low-hanging
13 fruit left anymore and the cost act has gotten so small,
14 and when you look at all the different pieces of it
15 there's more investment required to get less out than
16 what we've seen in the past, which is good. It means
17 that we're getting closer and closer to good parity in
18 terms of cost.

19 And the last thing I would mention is, in
20 comparing back to Germany is our customer acquisition
21 costs are still expensive in the U.S., in California,
22 whether it's a residential retrofit or a new home
23 customer, the cost to go out and get the customers, and
24 to build these systems, and to manage the customer
25 because we're not in a mature environment is, perhaps,

1 one of the biggest opportunities to reduce.

2 And that is only going to happen through market
3 maturity, and education of the consumers and the
4 homebuyers, to the point where it becomes standard in a
5 home much like an air conditioner did in a car years
6 ago. At that point we'll be able to reduce, you know,
7 further reduce the costs because we're at maturity.

8 MR. RAYMER: And Bob Raymer, with CBIA.
9 Following -- by the way, I'll be speaking to questions
10 number 3 and 5, I didn't expect to speak to 1 and 2
11 today, but I --

12 COMMISSIONER PETERMAN: Oh, and Bob, let me just
13 interject a couple of questions, now, for Matt to
14 respond to, as well as for you to follow up on or others
15 to follow up on.

16 When you talk about consolidation within the
17 industry are you also saying consolidation within the
18 contractor market, as well, in addition to the module
19 market?

20 MR. BRUST: I think a little bit. I mean,
21 honestly, I think the -- are you talking about the
22 broader market or are you talking about the new home
23 market because I think --

24 COMMISSIONER PETERMAN: For the new home.

25 MR. BRUST: Yeah, I think --

1 COMMISSIONER PETERMAN: I imagine probably less,
2 uh-hum.

3 MR. BRUST: -- we're actually growing the new
4 homes because we've gone from 7 percent to 18 percent
5 and we need more partners, or more sophisticated
6 partners, or we're helping them grow their business from
7 an insulation stand point.

8 In a retrofit, I would say that the introduction
9 of these third-party financing programs have helped, you
10 know, sustain sort of the residential business which
11 looks, obviously, quite a bit different than I believe
12 the new ones do.

13 COMMISSIONER PETERMAN: And the other follow-up
14 question I have is you mentioned the opportunity,
15 possibly, for some labor supply constraints going
16 forward, and I'd welcome your thoughts, kind of
17 acknowledging that about what you see as the potential
18 impact of required certification programs, such as the
19 NABCEP certification. I think there's about 12 states
20 that have some requirement with NABCEP in terms of
21 providing their incentives. And it's just something
22 I've been curious about, about that potential additional
23 barrier to entry with licensing and certification
24 requirements.

25 MR. BRUST: I think additional requirements such

1 as that, right now, would have a major impact on
2 potentially cost and just the ability to install systems
3 if we didn't have a substantial trained workforce
4 working for the types of partners that we're working
5 with today to do that.

6 Because it's very difficult to stop midstream
7 and change your installation partner, there's so many
8 back-end processes set up around those trade partners
9 that you work with to switch and it is extremely costly
10 and difficult.

11 COMMISSIONER PETERMAN: Thank you.

12 Bob?

13 MR. RAYMER: Yeah, like I said, I hadn't
14 expected to respond to question one, but a point that
15 Matt had brought up is very telling.

16 The market penetration of solar in the new
17 residential market has skyrocketed, primarily due to the
18 success of the New Solar Home Partnership.

19 But if you look back, just three, four years
20 ago, there was a penetration of around one percent, very
21 small. We had a very steep hill to climb.

22 And while we're not still out of this, when
23 you've got probably a half-dozen of the major production
24 builders that have decided, at least initially, to
25 incorporate this as a standard feature, we've gone from

1 that 1 percent to, I would say, a 15 to 20 percent level
2 that we're going to see in 2012, 2013.

3 That is an extraordinarily something I don't
4 think I've ever seen in all the time that I've worked
5 for the building industry where technology, number one,
6 not only of this cost and this size has been basically
7 brought into the industry so quickly.

8 I understand that the goal is to get 50 percent
9 by 2016 and 100 percent by 2020, but it is just
10 remarkable.

11 And as we get into other questions today, the
12 ability to keep this momentum going, particularly for
13 the next one and a half to two years will be vital
14 because builders are in competition with each other.
15 They want to sell their home to the home-buying public,
16 and they want to be able to beat out the competition
17 next door.

18 And when someone who's not building solar is
19 looking at the competing market and he says, geez, these
20 homes over here with KB, Lennar, with Shea, with other
21 builders all have solar on and they seem to be selling
22 quite well, that all of the sudden puts the light bulb
23 on, maybe I should consider incorporating this.

24 That's the snowball effect that we can probably
25 expect to see within the next two to three years. It

1 will be kind of an exciting time to see how all of this
2 plays out. Thank you.

3 MR. ATALLA: Commissioner, Jacob Atalla with KB
4 Home, if I made add to the perspective on labor. Labor
5 shortage is very acute right now in the sense that
6 skilled labor is not available. We still have
7 unemployment, but skilled labor has migrated away from
8 the construction industry to some extent during the
9 downturn, and it's been difficult to -- so far to bring
10 them back.

11 So, this labor shortage has some impact here.

12 But I'd like to add a different perspective to
13 the cost of solar. For a production home builder cycle
14 time is very important. And when we started solar
15 several years ago, back in 2005, adding solar on a home,
16 we knew that we had to add several days, weeks to a
17 cycle time of that particular home to get it done with
18 solar because there was no service providers for solar
19 that were strong enough to work at the speed of a
20 production builder.

21 Fortunately, over time that maturity in service
22 providers came through. Providers such as SunPower,
23 that are not just manufacturers, but here work with us
24 on the end-to-end solution, providing the permits,
25 everything related to interconnections, and the rebates,

1 all things bundled together.

2 Having that kind of service provider available
3 to work at the speed that we need to build the house in
4 made it available, and made the cost of it less for us
5 because of the shorter cycle time.

6 And, finally, I would agree with Matt in terms
7 of consumer maturity is not there, that's where we
8 probably can -- we're spending a lot of time trying to
9 educate the customer to take on a home that has solar as
10 standard, or buy an optional system.

11 So, that time and people that were putting --
12 focusing on that, that's a cost that still has some
13 opportunity here.

14 MS. NGUYEN: Okay, so Jacob, that was a good
15 point you made. And I know you're on the last panel
16 talking about consumer protection and outreach and
17 marketing, so we'll make sure to bring that up and ask
18 you more about that.

19 And then, Matt, you also brought it up. So,
20 you're not on the panel, but we'll still ask you to
21 provide feedback on that at the time.

22 So, just to be clear, not everybody has to
23 provide an answer, but if I feel that you have something
24 important to add and you haven't spoken up, I will point
25 you out.

1 So, Joachim, your turn.

2 MR. SEEL: That's great. I have one more
3 question on this. Some of the tracking, the Sun work
4 has indicated that installed priced might be a little
5 more sticky in California, than in other states in the
6 U.S. And so beyond reasons that we know, that's
7 different than the international market, just in the
8 U.S. market -- things that might cause that would be
9 higher electricity rates, difference in labor rates,
10 sales tax rates, perhaps smaller systems in California.

11 But I wondered if anyone had any comment on
12 that? Still, what, about half of PV systems in the U.S.
13 are in California, I think, so it's a little surprising
14 that California's on the high side of median for
15 installed price.

16 MR. SEEL: Oh, definitely, that is very
17 surprising and it is somewhat contradictory to the
18 common thought that as you grow the market, necessarily
19 prices will plummet.

20 At LBNL we have not done a lot of -- well, we
21 have in my analysis we've done a little bit of detailed
22 soft cost analysis, but overall when comparing
23 California prices to other states we have not really
24 gotten that much into the details, more on an overall
25 system price level and not the individual soft cost

1 categories, in particular, because we didn't have data
2 available for that. So, there are some limitations.

3 I think some observers have pointed out that
4 there is so-called value-based pricing where you look at
5 what the net present value of the system might be, and
6 given the high electricity costs which you offset here
7 in California, some people have pointed out that there
8 might not be as much of an incentive to reduce prices
9 because a PV system is already somewhat competitive with
10 the utility. And so the drive to continue to reduce
11 prices on a month-to-month basis might not be there as
12 much.

13 Ideally, I guess, in a competitive market the
14 different providers would compete against these other
15 prices in order to drive down prices, but we have not
16 seen that, yet, to an extent maybe as we would like to.

17 Of course, there are some other fundamental
18 differences in costs, et cetera, and permitting, maybe.

19 Yeah, one of the other questions in terms of
20 where we might see prices going, I guess the fundamental
21 -- the fundamentals of the model industry have not
22 changed, yet. We still have an over-supply. And
23 although in the past, you know, people always thought,
24 okay, we've hit the bottom, it still continued to
25 decrease.

1 And at the moment, as we still have an over-
2 supply in production capacity, I don't really see any
3 reason why the decline in module prices should be
4 reached now.

5 However, modules are a significant -- not a big
6 share anymore in terms of the overall system price. You
7 know, the spot market price is up 70 or 80 cents a watt,
8 and overall system prices are up \$6.00 a watt, and so it
9 is just one-sixth of the overall system price.

10 So, I think one should really try to look at the
11 other components, especially as soft costs, yeah.

12 MS. NGUYEN: Okay, so we've all mentioned soft
13 costs, both of you have mentioned that and then you have
14 mentioned different aspects of the soft costs, you know,
15 like the labor costs or customer acquisition.

16 Are there any other soft costs that you guys
17 wanted to address? You know, things that need help, and
18 no body's mentioned permitting or anything. And, you
19 know, some of these we'll get to later.

20 MR. RAYMER: Yeah, number three I've got a lot
21 to say about permitting.

22 MS. NGUYEN: Okay, you want to wait until three.

23 And Walter, it looked like you may have had a
24 comment?

25 MR. CUCULIC: Yeah, just I would reemphasize the

1 need for simplicity for the overall process. I think
2 that Jacob hit on it earlier, as well, as the current
3 NSHP process is very cumbersome for both integrators, as
4 well as the builders, themselves.

5 You know, how should I say this, Arizona has
6 basically lost many of its rebates and I've actually
7 seen that kind of as a good thing because it just is
8 simpler now.

9 And not that I want us to lose NSHP rebates, but
10 the amount of paperwork that is required and the
11 administrative overhead to make sure you're collecting
12 these rebates correctly, transferring them if you pick
13 up a new builder or, you know, you lose a builder to
14 another one.

15 And that actually, from an industry stand point,
16 is a potential barrier to entry for more integrators to
17 get in.

18 If you look at the industry and the people that
19 are servicing the new home industry, from an
20 integrator's stand point it's pretty consolidated,
21 there's not a lot of people serving it. And I think
22 it's because of these -- the complexity of the
23 processes.

24 And so if you want to lower it, you bring more
25 people in by making it simpler and that will then keep

1 costs down, or move costs down is my thought so --

2 COMMISSIONER PETERMAN: Thank you for that
3 comment. You know, when it comes to the soft costs I
4 think, you know, as Joaquin pointed out, one of the
5 challenges is that we don't -- that whether researchers
6 or even regulators don't have transparency into all of
7 what those soft costs are.

8 So, in terms of that comment I encourage you to
9 continue to talk with staff, talk to us about how much
10 you're spending on administrative costs and what this
11 actually breaks down to in terms of number of staff that
12 are required to do the work, because that is an area
13 where we have some opportunity to impact.

14 MS. NGUYEN: Okay, so to keep things going, I
15 guess, in a nice flow, we'll actually skip to number
16 three, since I've heard some mention of three.

17 So, number three is what market barriers or
18 inefficiencies, for example tariffs, permitting, grid
19 interconnection, integration, NSHP are disrupting the PV
20 market from reaching its full potential?

21 MR. RAYMER: I'd like to kick off on that one,
22 Bob Raymer with CBIA, again. I'll cover issues related
23 to local permitting, NSHP, program flexibility,
24 repayment of loans and net metering.

25 Kind of kicking off on local permitting, this

1 has been a problem more with retrofit than it is with
2 new construction. But still, with the sort of newness
3 related to solar you've got over 500 cities and counties
4 out there that have a tendency, particularly with new
5 technology and new systems to deal with things in sort
6 of a patchwork quilt approach.

7 There does need to be a need for some uniformity
8 throughout the State. I do want to indicate that the
9 issue of local fees and services has been a very
10 contentious one for the past 25 years.

11 In terms of permitting, there is State law
12 that's been around since the late 1980s that does
13 require that the fee collected by the local jurisdiction
14 has to be reasonably connected to the services rendered
15 for that fee; which sort of raises the question of why
16 do some jurisdictions charge zero and other
17 jurisdictions charge \$700, \$1,500, et cetera, for pretty
18 much the same type of systems.

19 And so I think we've already done a good job of
20 attacking this over the last year. OPR worked with the
21 Energy Commission, HCD and the fire marshal to come up
22 with the permitting handbook that's being distributed to
23 the local jurisdictions throughout the State.

24 We've all kind of worked together to make sure
25 that the people how need to get that in their hands is

1 getting that.

2 And I think over the course of what's left of
3 this year, and 2013, you're going to start to see an
4 emergence of sort of a collective way of dealing with
5 this and, most importantly, with the new home market.

6 We just simply have to get this mass of
7 workforce out there, particularly local jurisdictions,
8 the plan checkers and the inspectors familiar with this
9 technology. They've got to get up and get warm and
10 fuzzy with it so that, number one, they're not afraid.

11 And number two, to the extent we can hand them
12 on the silver platter here are the things you need to
13 check for, it's not that big of a deal.

14 And with, particularly, new home construction
15 when you're dealing with production housing, you don't
16 necessarily need to do all of these things each and
17 every house one, by one, by one.

18 There's a lot of retroactivity here that plays
19 in and can really help reduce the amount of time and
20 effort that a jurisdiction has to do with one thing.
21 They just need to pick up that guidebook, it's very
22 helpful.

23 Moving on to New Solar Home Partnership Program
24 flexibility, I would really like to ask the Commission
25 to think long and hard about reinstituting the -- I

1 guess we called it the New Solar Home Task Force.

2 This is something that worked very well together
3 in putting together I think the first two editions of
4 the guidebook. And while you might not necessarily want
5 to go with the same players that were around, you know,
6 seven, eight years ago, certainly getting that group
7 back together with the current level of -- you know,
8 those who are the -- those who have something to add to
9 this issue at this point in time and meet on a regular
10 basis.

11 I realize that we don't necessarily need to
12 physically meet in the same room but, you know, every
13 quarter have a conference call, you know, get the
14 questions out and just provide a forum where the
15 interested parties can get together and say here's the
16 latest that's going on with the program, here's some
17 issues that have popped up in the field. We need to
18 address this quickly to keep things moving strong and
19 smoothly. That could be a real big help here.

20 And I suspect there's going to be other speakers
21 saying pretty much the same thing, since I cheated and I
22 talked with a lot of them before today's presentation.

23 Now, that kind of leads into the next issue,
24 particularly right now, there is a need for timely
25 clarification of field implementation issues in the

1 maintenance of these interpretations in some manner,
2 whether it's electronically or whatever.

3 But the Energy Commission's done a great job
4 with the blueprint over the years, with the Energy
5 Efficiency Standards, where questions have come up in
6 the field and they see it enough that they want to speak
7 to it in a more formalized fashion.

8 And they'll say here's the issue that's popped
9 up and here's how we want to see this dealt with out in
10 the field.

11 And that has been a great educational source for
12 decades. And so to the extent that, you know, we don't
13 necessarily have to use the same format model of the
14 blueprint, but some way we've got to be able to
15 establish questions and answers that are repeatedly
16 coming up in the field so that you've got this
17 commonality that at the drop of a hat either a building
18 official, particularly a utility representative, or the
19 installers or whatever can gain access to, to help
20 things moving along slowly and not dealing with a
21 multitude of different answers or approaches to the same
22 issue. That would be really helpful.

23 Regarding a specific change to the guidebook,
24 once again I know that there will be at least one other
25 speaker to this. But we've seen, particularly with this

1 skyrocketing market, that there is an unexpected, very
2 understandable need to shift the application of solar
3 from one project to another, whether that's called
4 fungibility or providing fluidity within the application
5 of the New Solar Home Program.

6 What we're seeing is the marketplace can be very
7 fickle and you may have production builders who, in one
8 location already had a new solar home reservation sent
9 in, but we're seeing where just two, three, ten miles
10 down the road the same builder has another project and
11 it looks like solar is going to take off like hot
12 potatoes in that jurisdiction.

13 And so it would be very helpful, since
14 particularly we're dealing with the same climate zone,
15 to be able to have more of a kilowatt banking approach
16 for a New Solar Home Program whether you can either do
17 it here, or do it there, or whatever, but have the
18 flexibility to, at the drop of a hat, say we can't go
19 forward with solar over there, but we certainly can go
20 forward with solar over here and deal with it that way.
21 That could be very helpful to us.

22 One of the issues we dealt with earlier in the
23 year, as you well know the State budget hasn't been all
24 that happy these days. With the passage of Prop 30,
25 hopefully, things will be a lot nicer as we head into

1 June of next year.

2 But over the years, as you well know, there's
3 been some loans that have been taken from the RRT, of
4 the Renewable Resource Trust Fund and applied to the
5 General Fund.

6 We saw \$25 million repaid back in June of 2012.
7 There's still some outstanding loans to the New Solar
8 Home Partnership Program.

9 And to the extent possible we can work with the
10 Legislature and the Energy Commission to try to see that
11 that money comes back, particularly the sooner the
12 better, there's an urgency here.

13 I think that you're going to see a dynamic
14 change occur with application of solar as a standard
15 feature in production housing that's taking place now,
16 and for about the next year and a half to two years.

17 And if all of the sudden there's a disruption in
18 that flow of the incentive money during this short term,
19 that could have -- it could take years to rebound from
20 that.

21 We've got the snowball running down the hill
22 right now, it's getting larger. And to the extent that
23 we can keep that going before it hits the bottom, so
24 much the better.

25 So, anyway, once again we'll be doing whatever

1 we can to support the Energy Commission in getting some
2 or all of that money repaid. Of course, that's always
3 easier said than done.

4 Moving right along to the noncontroversial issue
5 of net metering, we want to see everybody come out of
6 this happy. We don't want, necessarily, the
7 utilities -- they have an understandable issue, they
8 want to make sure that the transmission grid that
9 they've put out there is kept whole, that there aren't
10 free riders. And we think it's very reasonable that
11 someone with a house that's connected to the grid,
12 indeed, have to pay some reasonable fee, which the PUC's
13 now under-doing a study to check what that reasonable
14 fee should be.

15 But we want to make sure the utilities are kept
16 whole.

17 But the bigger and global issue is, as we
18 approach 2020 and we, theoretically, are looking at 100
19 percent of new homes having solar on it, we've got to be
20 able to market that. And we're not going to have
21 incentives when it hits 2020, the incentives are going
22 away.

23 And one of the best ways to effectively market
24 solar is to be able to tell them that they're going to
25 get a reasonable return. As that solar energy, the part

1 that they don't use goes back into the grid, they're
2 going to get a reasonable return for that.

3 And so to the extent that we can stop figuring
4 out what tiny percentage will increase the 2 and a half
5 percent cap to 5 percent, and now should we change it to
6 6 percent, it would be nice in a great world to see 100
7 percent.

8 I realize that this is going to be a very
9 contentious issue in the Legislature, but if we could
10 get to a point to where the utilities are happy,
11 everybody's happy and we're able to get a good return
12 for putting solar on the roof, all of the sudden the
13 common question that the homebuyer's going to have is
14 why would you consider not putting solar on the roof.

15 We need to kind of get to that point and right
16 now you can't really say with surety that they're going
17 to be getting a good return for that investment right
18 now. Down the road we want to change that.

19 So, it's a very simple equation but,
20 politically, it's a lot harder to crack that nut.

21 So, that kind of concludes -- of course, the
22 other issue that was brought up earlier, issues with
23 China, free trade being what it is, right now U.S.
24 manufacturers are at a disadvantage. To the extent that
25 can be taken care of, whatever you can do to fix that,

1 you know, give it a shot.

2 (Laughter)

3 MR. RAYMER: Anyway, that's my comments, thank
4 you.

5 COMMISSIONER PETERMAN: I already was thinking,
6 boy, that's a lot of ground you covered and then you
7 just throw in that international one, as well.

8 MR. RAYMER: What can I say?

9 MS. NGUYEN: Okay, so yes, those were really
10 good comments, Bob, really helpful. And just like with
11 Matt, I'm going to invite you to stick around for the
12 last panel and to provide your comments, you know, on
13 the advisory committee, restarting that and the
14 conversation we can have with customers.

15 The blueprint idea, also great, so I'd ask you
16 to bring that one up again and maybe elaborate a little
17 bit more on that.

18 So, any other comments on anything Bob's had to
19 say or any new feedback?

20 Joaquin, great.

21 MR. SEEL: Okay, so I think one of the points
22 which Bob pointed out, already, and which we've spoken
23 about previously already, and when it comes to market
24 barriers I think overall investor security is a big
25 point, that the customer has the security that the

1 investment, which is sizeable of, you know, \$10,000 to
2 \$20,000, if he pitches it up front, into the PV system
3 that that really pays off and that it is not,
4 ultimately, a sunk investment.

5 And with all the discussions with we currently
6 have with the net metering in front of the CPUC, I think
7 one of the big differences, which I realized when
8 comparing the Germany and the U.S. market is really that
9 in Germany, where you have the guaranteed sales price
10 with the feed-in tariff, it is just very easy for you to
11 really understand what the value proposition of your PV
12 system is.

13 Whereas here, with the potential changes in
14 tariff structures, it is so uncertain what the marginal
15 value of your kilowatt hour is, which you really then
16 offset with your PV system.

17 If the tier structure's going to change, how
18 much is really the electricity worth which you're going
19 to produce?

20 I think if -- and, of course, that is a very big
21 question and can probably not be addressed within the
22 NSHP.

23 But to the extent that more security and clarity
24 can be introduced here, I think that would really
25 contribute to lowering the customer acquisition costs

1 and reducing significant market barriers here.

2 In terms of the permitting costs, as studied by
3 NREL, it showed that on average in the United States you
4 have 9 cents a watt, or so, just as a permitting fee,
5 which you have to pay for the local authorities having
6 jurisdictions.

7 In other markets throughout the world we do not
8 see permitting fees whatsoever, and it is more a
9 standard service which your local bureaucracy does to
10 you. You pay your taxes and so for that you get a
11 certain service by the bureaucracy.

12 And so having to pay additionally, just in order
13 to receive a permit, you know, may be something which
14 could be thought of. Of course, in the end the local
15 offices have to break even and I know they fight already
16 with the costs which they face.

17 Overall, to the extent that you can simplify the
18 grid connection proceedings and the necessity that
19 additional or extra people have to come out from the
20 local counties to really visit each individual home and
21 make sure that it is up to code, maybe there are some
22 options for simplification.

23 In Germany, something like that doesn't exist
24 whatsoever. It is the responsibility of the local
25 installer to make sure that he is up to code. And if he

1 is not, he can be sued for it and can lose his license,
2 so that is his incentive to provide quality work.
3 Whether, of course, that might be directly transferrable
4 to the United States could be in question.

5 But I think that's an additional point where
6 costs could be reduced, which could contribute to
7 lowering overall PV prices.

8 MR. CUCULIC: I just wanted to follow up on one
9 thing. There's two aspects of financial security that I
10 think are important to touch on. One's kind of the
11 feed-in tariff and the amount of value that the kilowatt
12 hour that is generated on.

13 The other goes back to the appraised value or
14 the value both that the builder and the homebuyer get
15 when they go to sell their home.

16 So, your average homebuyer, it varies, but a
17 general rule of thumb, stays in their house seven years.

18 Just say, and I'm not a big fan of this term,
19 but your average -- just say your average payback in
20 California is seven years on a solar system, which is
21 pretty close depending on what size of a house you live
22 in, stuff like that.

23 So, many questions that homebuyers have when
24 they go to sell their home, and I know NREL came out
25 with a study a couple of years ago saying, oh, you get

1 this \$3 to \$5 per watt, I think, on new home
2 construction.

3 Well, according to your costs here, right, the
4 cost for installation -- and I believe, Matt, you might
5 know, too, it's about \$3 to \$5 a watt is what NREL's
6 studies came out for new home construction is.

7 Well, I'm not getting -- as a builder I'm not
8 getting all my money back and as a homeowner I'm not
9 getting all my money back if I install that and I'm only
10 in my house three to five years, so it's a loss.

11 If you're not familiar with the SAVE Act, it's a
12 national initiative, a bipartisan bill in Congress. If
13 you could figure out a way to institute something like
14 that at the state level, where you assure both the
15 homebuyers and the home builder the value, because
16 that's -- the uncertainty around that appraised value, I
17 think, is a big part of the confusion and hesitation
18 that both the builders -- all right, let me put a 5, 10,
19 20 thousand dollar system on it and the appraiser comes
20 back and might only give you \$3 a watt, \$4 a watt.
21 Well, the damn thing cost me \$5 a watt. Well, yeah,
22 that's a great economic value proposition.

23 Or even the homebuyer, oh, it's a seven-year
24 payback, I don't know if I'm going to -- the average
25 person stays in their house for seven years, so at best

1 I might break even and then I hope that I get a higher
2 resale value out of it.

3 So, I think that's the other valuation thing
4 that I would -- if you could figure out a way to help
5 that situation, in addition to the feed-in tariff,
6 that's what I would strongly recommend, as well.

7 MR. RAYMER: There are a lot of appraisers in
8 the State, including right across the Yolo Causeway,
9 that absolutely will refuse to include any cost
10 associated or any price association, value associated
11 with the solar and going above code on energy.

12 And particularly in Yolo County I found that
13 rather odd. But it's a huge problem that we've run
14 into, and particularly when you're doing a 3 to 4
15 kilowatt system, particularly on a retrofit, that's a
16 real pain. But for new construction, when things are so
17 tight right now, that's a huge chunk of the up-front
18 cost of the home and it needs to be included in that
19 appraisal. There needs to be some value that once you
20 go to sell that home and -- we need to be able to get
21 that.

22 The SAVE Act is doing its best to deal with
23 that. You know, good luck with getting bipartisan
24 approval of something. Right now it's got bipartisan
25 support, but we need to get something like that to the

1 President.

2 COMMISSIONER PETERMAN: A question and an
3 observation. On the issue of appraisal, first of all, I
4 have to say a seven-year payback, you know, relative to
5 where things used to be is quite good. And so I think
6 that we're definitely moving in the right direction.

7 Would something like a PACE program, that type
8 of financing be a mechanism for addressing this concern
9 in terms of those home sales. I mean because you do get
10 that commitment, then, from the next homebuyer to take
11 on those costs.

12 MR. CUCULIC: Yeah, I still like the idea of
13 putting it in the mortgage for two reasons. It avoids
14 the whole Fannie, Freddy issues that potentially could
15 come up with the PACE.

16 Number two that benefit of having it -- there's
17 still, unless Congress changes it, there's still the
18 mortgage interest tax deduction, and so there's that
19 additional benefit that you get from that of having it
20 in the mortgage.

21 I think the simplicity of putting it in the
22 mortgage, also, it's a process that the homebuyer
23 understands.

24 And PACE, it's like, okay, now I've got to
25 understand solar and now I've got to understand PACE?

1 It's just when people are buying homes they're taking in
2 so many different things, they've got to choose flooring
3 options, you know, all these different things and then
4 I've got to figure out what -- anything that adds to the
5 complexity is just, I'd say, discouraged.

6 MR. RAYMER: On-bill financing is another way
7 to -- if you want to try to get around the sort of
8 hurdle that we've run into with Freddy and Fannie at the
9 Federal level, on-bill financing within the IOUs maybe
10 is one thing to do.

11 I know that that will be attempted in the
12 Legislature again this coming two-year session.
13 Industry will be very supportive of that.

14 MR. ATALLA: I would add my recommendation for
15 on-bill financing versus PACE to address the appraisal
16 issues.

17 But I'd like to just expand a little bit on
18 Bob's mention of a couple of things. One is the
19 kilowatt banking. I'd like to just mention that one
20 community here versus a community just a couple of miles
21 away, it's not about the solar, itself, and that the
22 buyer here is a buyer that understands solar versus this
23 buyer.

24 The solar comes on a house so, to a large
25 extent, most often it might be an issue with the house,

1 with the product we might be building there. And we
2 need to shift product, we may need to shift markets.

3 A lot of times we -- in the last couple of
4 years, when KB Home adopted solar in a strong way, in
5 Southern California it was for reasons to bring
6 differentiation and attractiveness to the house to sell
7 the overall package.

8 And in some times we have to shift, it's
9 included as a standard here to here because we're trying
10 to move the house that's here.

11 So, all these things, from a new home
12 construction perspective, would help the builders in
13 general to be a little bit more flexible to use solar
14 for the benefit of it environmentally, and for our
15 energy security, but at the same time in terms of
16 selling homes.

17 So, I think it's -- the banking idea is one
18 worth pursuing with the Guidebook in the future.

19 COMMISSIONER PETERMAN: So, let me just comment
20 on that issue, the general issue of fungibility because
21 it's come up in our discussions around the program over
22 the last year.

23 And I understand the value of it and the need
24 for it from the process side, the builders side, but the
25 challenge we have to think through, and we'll continue

1 to think about this and engage with you all on this
2 issue is how do you provide that fungibility while also
3 preserve equity within the program in terms of access to
4 funds?

5 And the challenge is we have a declining
6 incentive and so a concern I would have is potential
7 gaming. For someone more experienced with this
8 business, reserving X block of incentives for, you know,
9 megawatt incentives and then making the choice later on
10 regarding which home to assign them to.

11 And we talk about wanting to include more
12 integrators, making the process more easy to participate
13 in we will get concerns about, you know, reservations
14 not being utilized.

15 And so I think that's the balance we've got to
16 work through. It's less of a challenge when you have
17 significant funding available. It became a real concern
18 last year, when we had a waiting list.

19 And so it's an issue I am committed to working
20 through, but I did want to raise some of the challenges
21 that do arise.

22 And maybe it's about thinking about some type of
23 limitation on a time period for that fungibility or set-
24 asides for certain types of funds, but just wanted to
25 raise that point.

1 MR. ATALLA: Thank you for mentioning that,
2 Commissioner. I'll add to that is that it was tied to
3 that period of time of uncertainty, so to your point.

4 But at the end financial security, as it was
5 mentioned, that insecurity in terms of if we face it
6 again. I know what it did to our executive suite in
7 terms of, you know, then pushing back on the division
8 that really took solar and moved forward with it, you
9 know, they started seeing a lot of risk with solar and
10 that executive suite started pushing on our division to
11 say, you know, no more solar standard.

12 So, there was that issue. And I think just
13 keeping the uncertainty out of the program going forward
14 would be the thing to do for sure, however mechanism
15 that will take.

16 The second thing that I think Walter mentioned
17 about the feed-in tariffs, and I know that we have a net
18 zero energy focus discussion a little bit later on, but
19 I'd like to mention that we give -- with the few zero
20 energy homes that we have built, we give an energy
21 performance guide, sort of like a miles-per-gallon
22 sticker to the homeowner that says this is what your
23 home will perform, and these are the type of utility
24 bills you expect to pay per month for the home.

25 And in doing the net zero energy homes that we

1 have built, we built them to the strict California
2 definition of you have to offset all fuels associated
3 with the house with renewables. The house has to be net
4 zero all fuels.

5 That means we are building a solar array that is
6 offsetting the natural gas that is being used in the
7 house. And so definitely the house, on a net basis, is
8 using kilowatts for the house but definitely, because
9 we're offsetting the natural gas, we're pumping
10 electricity to the grid.

11 And in many tariff situations in the State,
12 currently, the net metering stops at when the bill is
13 zero, it does not go beyond that. So, we're pumping to
14 the grid to offset the natural gas, but the homeowner
15 doesn't get paid for it. However, they paid for that
16 big array in their mortgage and they're paying for it in
17 their mortgage.

18 COMMISSIONER PETERMAN: So, let me clarify
19 because I don't know if I fully got your point. Is it
20 offsetting natural gas use within the house, in terms of
21 moving from gas to electrification?

22 MR. ATALLA: Well, no, the house still has gas
23 and electricity. It may still have the water heater in
24 gas, okay. There are many reasons or let's just take
25 the cooking appliance, it still might be gas. A lot of

1 people, consumers prefer natural gas over electric for
2 cooking appliance. So, we still have to offset that and
3 we build that -- when you do the energy modeling you
4 build a large solar array for it.

5 And, yet, we're putting kilowatts to the grid
6 and not getting money back for it, the consumer is not
7 getting money back for it. I think if we're moving and
8 trying to create a great transition between now and the
9 year 2020 that sort of situation would be worth
10 addressing.

11 COMMISSIONER PETERMAN: Thanks for that
12 clarification.

13 MR. ATALLA: Thank you.

14 MR. BRUST: Yeah, I would only have one final
15 point, and I've made it earlier but it's with respect to
16 this particular question on tariffs, and permitting,
17 grid interconnection, outstanding in California we have
18 a program that is built for home builders, it's the New
19 Solar Home Partnership. We recognize that it's a
20 separate industry.

21 However, a lot of the jurisdictions or utilities
22 that we work with don't have separate process for
23 interconnecting the system, for example for a newly
24 built community versus a retrofit community.

25 So, we talk about barriers, you know, as a

1 homebuyer you're moving into a home that's expected to
2 have solar on it and you're going to get all these great
3 benefits, but because of the way the systems work you
4 might not have that system interconnected for two months
5 after you move in.

6 So, there's this whole period of confusion and
7 kind of a dissatisfaction with the program because in
8 the educational process of buying a home you're not
9 getting into the nitty-gritty details of what
10 interconnection means, or how long it will be, or why
11 that is, necessarily. You're just getting a home, and
12 you're signing your escrow papers and you're moving in,
13 only later to find out that I'm not really able to
14 energize my system and I'm not getting this benefit for
15 quite a while.

16 So, to the extent that we could continue to
17 evangelize that this industry has to have separate
18 requirements, or processes and procedures, we're going
19 to continue to be rammed into the residential world or
20 with the commercial world where neither one fit well.

21 COMMISSIONER PETERMAN: Thank you for that
22 observation.

23 Jacob, I wanted to ask you how you make the
24 decision about whether to offer solar as standard versus
25 optional?

1 MR. ATALLA: It really is a market-based
2 decision. It's, again, for differentiation because to a
3 large extent our relationship is with one supplier and
4 we have a certain pricing with them. The variables are
5 the permits in the local jurisdictions might be, you
6 know, anywhere between -- we've seen them anywhere from
7 \$60 to \$400 and that might make a little bit of an
8 issue.

9 But most likely the issue is a market
10 differentiation issue and do we need it here, or do we
11 need it here to sell the home more effectively.

12 MR. BRUST: Okay, can I speak to that question?
13 What I see across my customers is, you know, in a lot of
14 cases there's a pro forma that's done when land is
15 purchased and there's costs that are built into that pro
16 forma to determine what kind of product would be sold on
17 that based on the demographic.

18 And if the land was purchased based on a certain
19 cost profile, what it would take to build that home on
20 that lot did not include solar, then in a lot of cases
21 it's automatically an option.

22 If it's planned in from the beginning, at the
23 land purchasing and planning stages, then it's almost
24 always included in the home.

25 MR. ATALLA: For sure. Thank you for that

1 clarification.

2 So, we're now getting -- as a builder we're
3 getting to that level of maturity to start considering
4 that when we are doing pro formas on new acquisitions,
5 on new land acquisitions and new projects. So, it does
6 come into play at this time and that's why stability in
7 the program and funding would come in very handy.

8 COMMISSIONER PETERMAN: Thank you. I'm sure
9 this varies, but in terms of the timing, so what's the
10 timing between going out to do the pro forma on the land
11 and then actually building the homes where these solar
12 decisions will be made?

13 MR. RAYMER: There is no simple answer to that.
14 Going back about a decade ago, before we just went
15 through that huge sort of trough that I presented, you
16 can start coming up with a plan for a project and not
17 see broken ground for ten years. It can be
18 exceptionally long.

19 That's particularly the case in Southern
20 California and San Diego. Not necessarily that much so
21 up here in Sacramento, but you also see cases of that in
22 the Bay Area.

23 And it just has to do with a host of things
24 completely unrelated with the actual construction of the
25 house, the building codes or whatever, but a rather

1 extensive environmental review, the ability for
2 interested parties to question that environmental review
3 at a host of stages along the process, and in some cases
4 quite redundant can add years to that process.

5 But we're seeing -- you know, as we headed into
6 the downfall about three years was kind of a good rule
7 of thumb that, you know, as we were moving forward with
8 this phase of the project and that, that it would be
9 good to have access to the funding within a two-and-a-
10 half to three-year period.

11 I understand that you're looking at two years.
12 And so that is -- that's kind of problematic. I think
13 three years is probably a good rule of thumb to look at
14 for the near future.

15 With the -- I would say with the stipulation
16 that if you can show project advancement. You know, if
17 the project's gone dormant, whether it's energy
18 efficiency, the solar, or anything many jurisdictions
19 basically say you've got six months to make progress on
20 your home, or your project, or whatever otherwise things
21 start expiring. You can get extensions, but you've got
22 to show progress.

23 To the extent that the Energy Commission is able
24 to incorporate that type of a judgment call where in
25 certain cases you can show progress, but you're not

1 going to necessarily make this hard, fast deadline that
2 can be very helpful.

3 MR. ATALLA: I'll add one more thing in relation
4 to costs and, you know, barriers. Again, I encourage us
5 to take a look, again, at the Guidebook and doing a
6 mechanism where there is feedback from the field on it.
7 As things have changed, you know, we're not at the one
8 percent or five percent adoption rate, we're up to 18.

9 That sort of adoption rate came in with some
10 flexibility and efficiencies that the new home building
11 industry have found together with some of the service
12 providers.

13 In the case of KB Home, working with the service
14 providers, we prefer when a service provider offers us a
15 price that is net of rebate. Meaning that the provider
16 will take on the effort to collect -- to document and
17 collect the rebate on behalf of KB Home.

18 That has helped us. Again, that's part of what
19 I mentioned earlier, the maturity of some of the service
20 providers to make the system or the process more
21 streamlined for us as a builder.

22 We can then continue to focus on what we know
23 best and move forward.

24 But when we hear back from the service provider
25 that collection of rebate is taking many, many months to

1 collect and several staff people, you know, focused on
2 it to get it done it has a cost that is a cost that's,
3 for sure, we know they're billing us for it.

4 So, with that in mind, again, there are new
5 things happening in terms of the volume where things are
6 happening with more volume and, again, perhaps worth
7 looking at together.

8 COMMISSIONER PETERMAN: Thank you. I think
9 those are good observations. And as we move forward
10 with the program, the incentive for the program for
11 solar new homes is higher than what you see in the
12 retrofit market, for a number of reasons.

13 And one of the -- we've heard that the benefit
14 of the higher incentive is to account for some of these
15 transaction costs, if you will.

16 And so the more we can move to reduce those
17 transaction costs, the better. And also a part of that
18 conversation will be, then, what is the incentive level
19 needed to continue to put the solar on the new homes as
20 we see these other costs come down.

21 And I think that's a continual conversation that
22 would work well with the public and some type of expert
23 advisory panel, as well.

24 MS. NGUYEN: Okay, so good conversation so far.
25 I think that covered question number five, what are the

1 current motivations for builders to include solar on new
2 homes, and it also touched on question number four, how
3 can State solar policies and programs decrease non-
4 module costs for new residential homes.

5 So, if anybody has anything else to add on
6 number four or five, even?

7 MR. BRUST: I just have one area that I think,
8 number four, State policies, and it's specific to the
9 New Solar Home Partnership. We've discussed this before
10 and it relates back to the collection of the rebates.

11 But as you know, we've been a big proponent of
12 including energy efficiency with the NSHP program.
13 Clearly, if we're going to achieve net zero by 2020,
14 we've got to make sure that the two are harmonized and
15 work well together.

16 Having said that, we are extremely challenged by
17 having to track the energy efficiency measures within a
18 home to the extent that we can't start a claim or submit
19 a claim until all of the energy efficiency measures have
20 actually been reported, checked off, and that the HERS
21 rater has actually followed through on the completion of
22 their tasks.

23 This delays the time in which we can collect the
24 rebate. It adds the biggest cost to us in terms of
25 being able to follow the process and get the rebate

1 claimed.

2 And I would just suggest that the solar industry
3 be held -- not be held -- we feel as though we're being
4 held accountable for the EE measures to go in, as well
5 as the PV. It should be done, but there should be a
6 separate mechanism. We should be able to collect our
7 rebates in due process without having to administer or
8 be part of the administration process of the energy
9 efficiency programs and measures that go in.

10 And I think if we could fix that, it would
11 probably result in one of the biggest cost savings of
12 the entire stack that we see today because it would
13 affect the efficiency at which we could collect rebates,
14 the amount of staff we have on working on rebate
15 application and claims, and managing and administering
16 it overall.

17 MR. RAYMER: Are you having problems getting the
18 HERS rater to the site on time, in a timely fashion?

19 MR. BRUST: We are calling HERS raters on a very
20 regular daily basis, asking them to provide this, to
21 what's the status of that, please finish this paperwork.

22 And there's, as you know, not just one or two,
23 there's a large number of HERS raters out there that we
24 have to work with.

25 MR. RAYMER: Uh-hum.

1 MR. BRUST: And the HERS rater has no obligation
2 to SunPower whatsoever. They're obligated to the
3 builder. Now, we might ask our builders to call them,
4 but the regularity of which we need to do this is --
5 just I can't over-emphasize what a substantial challenge
6 it is.

7 MR. RAYMER: You need them, they don't need you
8 is what --

9 MR. CUCULIC: Yeah, they'll even at times try to
10 get you to pay them to provide documents that they've
11 already been paid for by the builder to supply you these
12 documents.

13 And then to really get to -- I mean the other
14 challenge is in California everything's Title 24. Well,
15 Title 24 doesn't give you a whole-house energy
16 calculation, it only gives you heating, cooling,
17 domestic hot water heating, and so it doesn't give --
18 so, if you want to go to a zero energy model, the HERS
19 rater actually has to run a separate report to really
20 figure out what the total energy consumption for that
21 home is.

22 So, that's one of the other challenges, as well,
23 is -- you know, as part of the Title 24 calculations
24 I've always said why isn't -- I understand it's
25 different from HERS, but somewhere in that calculation

1 you should have a total energy consumption on that side,
2 as well, not just the individual elements.

3 MR. GOMEZ: So, the delays that you have with
4 the HERS rater, I mean do the builders have the same
5 experience? Because it just may be a nature of where
6 since the builder is transferring, you know, all the
7 responsibilities of certain services to the installer
8 that you kind of get this dynamic with the HERS rater.
9 I mean, if the home builder were lead on the project, I
10 guess is -- would it be any different?

11 MR. RAYMER: You know, having the site
12 superintendent more involved can help. But sort of the
13 problem, as we're coming out of this downturn in the
14 economy you've got a lot of new people coming on board
15 that are -- they're trying to get up to speed on all of
16 these different roads and trails that the project has.

17 And that, in and of itself, is a huge hurdle to
18 this. And so that is something that would normally
19 happen with any downturn in the economy, but in
20 particular this is happening at a bad time.

21 So, to the extent that the HERS rater could be
22 convinced and be incentivized to work and play well with
23 the solar industry and whatever to -- one of the things
24 that Matt was focusing on was the provision of a turn-
25 key service where the solar provider is basically doing

1 all of the grunt level work here.

2 They're taking away a headache to the builder
3 that Jacob was referring to, and making it very simple.

4 One of the problems in taking away that headache
5 is that they now have to get something from the HERS
6 rater, but the rater isn't necessarily that involved or
7 interested in their needs. They need to be. Everybody
8 needs to work and play well together.

9 COMMISSIONER PETERMAN: Great observations and
10 this is the dialogue we wanted to start now so that we
11 can think about these things for the next Guidebook.

12 We're going to talk about energy efficiency on
13 the next panel, but just in terms of process there are
14 incentives for energy efficiency on new homes. In the
15 context of a home, who's the one then applying for those
16 energy efficiency incentives? Is it the home builder?
17 Is it the solar installer doing that, as well?

18 MR. ATALLA: The home builder.

19 MR. BRUST: And primarily because those can't be
20 paid to anyone other than the home builder.

21 MR. ATALLA: Yeah, so the CAP program, we apply
22 for it and get paid for it, ourselves.

23 COMMISSIONER PETERMAN: And do you use a home
24 rater in that process?

25 MR. ATALLA: Yes, we do. I think the issue here

1 is that to get a home completed for CAP and for maybe
2 Energy Star, in the case of KB Home Energy Star
3 certification, is a certain point and then we close on
4 the house and move on when there are maybe more pieces
5 of paperwork that are required by NSHP for the
6 application process that are beyond what's needed for
7 closing the home for us, and with CAP, and Energy Star.

8 COMMISSIONER PETERMAN: Okay, so my take away
9 from that is that the energy efficiency side of the New
10 Solar Homes Partnership has more paperwork than getting
11 the incentives for the efficiency from CAP, is that --
12 and we'll put you on the record for this, I'm just
13 trying to get a sense of the challenge.

14 MR. BRUST: Yeah, I wouldn't be able to speak
15 specifically to the paperwork requirements for the CAP
16 program but, absolutely, there's a lot of duplication
17 going on there.

18 And I don't think that in order for Jacob to
19 close his home for the consumer to move in that the
20 HERS, all of the HERS activities have to be completed.
21 There may be more activities at the office level --

22 MR. ATALLA: Yeah.

23 MR. BRUST: -- that the HERS rater then goes and
24 does, but there's no firm or I think deadline on that,
25 that we know it's going to be done and, therefore, we

1 can start our process.

2 COMMISSIONER PETERMAN: Thank you. Yeah, I'm
3 just trying to get a sense of -- you know, we're talking
4 about the role of the HERS rater in both of these
5 processes and seeing if there are opportunities for
6 leveraging that relationship to do what you're doing on
7 the efficiency side.

8 Mr. Nesbitt, do you have a comment or question?

9 MR. NESBITT: Yeah, speaking for the HERS rater
10 industry. The New Solar Home Partnership has two parts,
11 there's the PV part and the energy efficiency part. The
12 NSHP rebate is only for the PV, but you're required to
13 have net the energy efficiency.

14 You need a HERS rater to verify the energy
15 efficiency whether or not you get a separate rebate on
16 the energy efficiency.

17 And one of the -- you know, we have -- I try
18 hard, you know, to get out there to get the
19 documentation but, unfortunately, we often have
20 revisions on the energy efficiency side. It is hard to
21 get CF6Rs from installers. We're often filling them out
22 for them and getting them, you know, to sign.

23 Technically, I, as a HERS rater, am supposed to
24 have signed off before you can actually get certificate
25 of occupancy.

1 To sign off on the NSHP, all the energy
2 efficiency stuff has to be done. You know, there is --
3 and it's not easy and I've been saying, you know, for
4 four or five years that one of the difficulties with
5 NSHP is the solar installer's rebate is dependent on
6 other people, the builder meeting the energy efficiency.

7 Unlike in CSI where it just, you know, it's
8 their own little thing and the energy efficiency is
9 nothing.

10 And so it is tough. And what we really need to
11 do is look at how the heck we can streamline this and
12 make it easier for everyone because we HERS raters
13 struggle. We struggle getting correct documentation,
14 getting people to do the CF1RPGVs right, you know.

15 COMMISSIONER PETERMAN: So, thank you for
16 bringing that perspective and we're delve more into
17 energy efficiency in the next panel, but I think that's
18 a very good observation. And it sounds like everyone's
19 aware that there is a challenge and we just have to
20 figure out how to, to your point, streamline it, align
21 the incentives to get the work done in a certain way.

22 MR. NESBITT: And it's a challenge for us and we
23 beat our head over a lot of this on our end, too, so --

24 COMMISSIONER PETERMAN: Thank you.

25 Le-Quyen, you should move on and then I'm going

1 to suggest in a couple of minutes we take a five-minute
2 break. Everyone's been sitting for a while and I think
3 we've got the time to do it.

4 And also, I want to make sure you provide an
5 opportunity for the panelists to ask each other
6 questions, as well as get questions from the audience.

7 MS. NGUYEN: So, we'll move on to the last
8 question for the panel. Number two, are there any
9 technology types/trends that are expected to come into
10 the market that will decrease costs or increase adoption
11 of PV?

12 Okay, so panelists, any comments? Joachim, as
13 our researcher on the panel?

14 MR. SEEL: Well, I cannot really speak about
15 future technology adoption, I have not really looked
16 much into that.

17 I think what we've seen in the past, building
18 integrated PVs seem to have a difficult time to get
19 adoption in the NSHP. So, I would assume that that
20 might continue given the situation of the VIPB module
21 supplies, but I have not had the opportunity to do any
22 research in that field.

23 MS. NGUYEN: Walter?

24 MR. CUCULIC: Yes, just two of the trends that I
25 kind of see that are affecting -- the third-party lease

1 ownership is a big one that's happening. And under the
2 current NSHP Guidebook it's not an easy process to do
3 that right now, where the builder can sign it directly.
4 I mean a large amount of builders are moving towards
5 this third-party lease ownership program.

6 And one of the things that Matt brought up is
7 the whole interconnection. When people buy houses and
8 they move in they want their cable turned on the day
9 they move in, they want their electricity, they want
10 their phone, everything. The builder's do a great job,
11 you move in and everything's working, except for your PV
12 system.

13 And when you can't sign the third-party -- when
14 the builder can't sign the third-party lease it's like,
15 oh, yeah, we've got to delay it and now two weeks, two
16 months, maybe longer we'll get your system
17 interconnected.

18 And it's just such a letdown and you get nasty
19 letters, I thought I was getting a completed house.
20 Well, it is completed we just haven't got it
21 interconnected yet.

22 So, if we can address that, where builders can
23 start signing that --

24 MR. RAYMER: Be the signatory to this right up
25 front to get the things rolling and --

1 MR. CUCULIC: Yeah, it just makes the process
2 more seamless and then it's easier for both the builders
3 and integrators. You're not trying to chase down the
4 homebuyer, you know, everybody's signing. You know,
5 it's easy to do it that way.

6 The other trend that I see is net zero energy
7 homes are becoming, I think -- I actually have a big bet
8 about that 50 percent level, so I'm on the favor side.
9 But that is an interesting trend that I see continuing
10 to grow.

11 One of the challenges that I see under the
12 current polices around the NSHP rebate is you've got a
13 builder, like Jacob, and maybe two years ago, or a year
14 ago he's like, oh, I'm going to make reservations for a
15 3KW system.

16 Well, now, I'm -- and I'm going to do it
17 standard, 3KW standard in all of my communities.

18 Now, I go, I'm a year and a half into my
19 reservations and I go you know what, this is great,
20 great customer feedback and now I want to do zero energy
21 standard.

22 Well, I can't update my reservations under the
23 current Guidebook. And so now I'm somewhat punished as
24 a builder if I want to upsize my systems, I can't do
25 that, I can only do it piecemeal.

1 And so that's also, as we look at ways to
2 encourage quicker adoption of zero energy and encourage
3 people to -- once they get a taste of the solar Kool-Aid
4 that they're like, oh, this is great, let me do more and
5 bigger, then we need to find a way to encourage that by
6 allowing them to either re-modify or re-up their
7 reservations with that new system size.

8 MR. BRUST: A trend that I'm seeing is that --
9 and it's with respect to the mortgage industry is
10 loosening up a little bit, so buyers are actually
11 qualifying for more home, they're able to -- if you talk
12 to builders who sell options, the option -- the amount
13 of the home purchase that is now an option-based
14 purchase is increasing because of the fact that banks
15 are actually lending more.

16 And we're lending at, you know, historic low
17 APRs.

18 When you look at the cost to finance a solar
19 system, whether it's an option or whether it's included
20 in your home, we're not talking about seven-year
21 paybacks, we're talking about your cash flow positive
22 the second you move into that home because it's costing
23 you less to mortgage your energy than it is to purchase
24 it from the utility.

25 And so, and at the same time as they're willing

1 to lend more, part of the reason they're lending more is
2 we're getting over -- we're hearing less and less these
3 days about appraisal issues.

4 A year ago, two years ago it was all any builder
5 would talk about when you walked in and that's loosening
6 up. And so I think that's a trend that we're seeing
7 which could actually -- will help, you know, put us on
8 this trajectory of growth that we've seen lately, so
9 long as those conditions hold.

10 MR. RAYMER: I would say ditto to the -- when I
11 say loosening up of lending regulations, they got really
12 tight after the crash, really tight, where you had to
13 have exemplary credit rating, plus you had to have a
14 huge down payment.

15 You still need to have a relatively large down
16 payment, usually in the area of 10 to 15 percent. The
17 20 percent that we spoke of about a year ago is not all
18 that uncommon. But, still, 10 to 15 percent is a lot of
19 up-front cash.

20 And to the extent that a variety of options,
21 such as on-bill financing can be available that up-front
22 payment to the bank doesn't increase with solar. That's
23 why leasing has really taken off like a rocket here and
24 is largely responsible for that one or two percent
25 penetration jumping to 15 and 18 percent, a lot of that

1 has to do with leasing.

2 But we still, you know, if we're looking at 50
3 percent of the housing stock, or 100 percent of the
4 housing stock, depending on the year you're talking
5 about, we've got to figure out a way that once that
6 buyer meets the credit requirements how can they make
7 sure that they don't necessarily have to come up with
8 another one or two thousand down payment.

9 So, that's one of the many eggs in the basket
10 right now.

11 COMMISSIONER PETERMAN: Thank you. I'd say just
12 from this conversation I don't know what the makeup of
13 the original type of advisory group was, but there's so
14 many stakeholders that are involved in making this work,
15 everything from the HERS raters to those within the
16 financing community, and mortgage lenders, and so there
17 seems to be a larger audience that we should be
18 attracting to this dialogue and so that's helpful to get
19 that perspective.

20 So, sir, I'm actually going to wait and take a
21 break now. We'll take a five-minute break and then
22 we'll come back and we will see if there's any questions
23 amongst the panelists, as well as any comments or
24 questions from the public.

25 So, let's come back in five, thanks.

1 (Off the record at 10:55 a.m.)

2 (Resume at 11:10 a.m.)

3 COMMISSIONER PETERMAN: All right, let's get
4 back on the record.

5 Bless you. Someone sneezed, this is not a
6 religious overture on the workshop.

7 MS. NGUYEN: Okay, before we get started and
8 have our continued panel discussion I just wanted to
9 bring up one thing. A lot of people are mentioning
10 appraisals and, you know, listening to the mortgage, the
11 standards -- not standards.

12 I guess, so we do have a SAVE tool here at the
13 Energy Commission; it's the Solar Advantage Valuation
14 Estimator. And staff here at the Energy Commission
15 developed it and it's to help realtors and appraisers
16 value the cost of a PV system.

17 And, you know, even the solar industry, like
18 retailers and installers, can use it with their
19 customers.

20 We do have free webinars, I think it's twice a
21 month we have them. And the tool, itself, it allows you
22 to enter in your utility rates, enter your system and
23 where it's located, and then it will provide, you know,
24 an estimation. And it gives you three values, a low
25 value, a medium value and a high value.

1 So, you know, a realtor, they could look at it
2 and if they said, okay, I don't want to go with the high
3 value, I'll go with the low or the medium and it gives
4 an idea, and they can tell their customer this is the
5 value, the potential value of that system.

6 And we will have staff here that do work on that
7 tool, so they'll be here for the fourth panel. So, if
8 you guys have any questions on that, you could stay and
9 ask them during the fourth panel.

10 Okay. So, I guess now if -- for the panel, if
11 you guys had any questions that you wanted to ask each
12 other or just topics that you wanted to raise and bring
13 to our attention we could do that before we take
14 questions from the audience.

15 A silent group.

16 COMMISSIONER PETERMAN: Well, we've heard they
17 talk without us, because that's what Bob was saying
18 earlier.

19 MS. NGUYEN: Okay. So, now questions from the
20 audience. What we'll do is we'll take questions from
21 the audience, first, and then we'll go to WebEx.

22 So, if you have a question just please come up
23 to the podium, state your name and the company that
24 you're with, and then go ahead and ask your question and
25 we'll discuss.

1 MR. BYINGTON: Commissioner, Le-Quyen, thank you
2 for the opportunity to speak. My name is Mark Byington;
3 I'm President of Cobalt Power Systems.

4 We are a PV installer in Mt. View, California.
5 We have installed about 900 PV systems over the last
6 nine years, and about ten percent of those, or 90, have
7 been New Solar Homes.

8 So, these are all custom, single-family homes
9 which I think is one of the market segments that one of
10 the New Solar Homes Program addresses. It hasn't been
11 spoken of too much here, so if you have any questions,
12 we would probably be a good resource for you.

13 But I have a specific item that I'd like to talk
14 about. And by the way, we have one full time person and
15 two part-time people on staff who do nothing but New
16 Solar Homes, so it is a very labor-intensive program.

17 But our customers love New Solar Homes, I should
18 mention, it really helps them make the decision to go
19 forward with PV.

20 The reason I'm speaking is we have one customer,
21 named Andrew and Sarah Fikes, and there was a serious
22 problem with their rebate.

23 We've been told by New Solar Homes staff people
24 to take this to the Commission, so that's why I'm here.

25 The job was a new custom home in Los Altos. The

1 home had some delays related to construction and we also
2 had some delays related to the HERS raters, which we
3 talked about previously.

4 So, the rebate expired on October 8, 2011. We
5 did finish the installation in time, but we did not get
6 all of the documents into the Commission before that
7 date.

8 We were told by New Solar Homes staff people
9 that we could file the NSHP-2 form before the expiration
10 date and this would stop the clock. We were actually
11 told this on four separate occasions.

12 We did submit this form, as requested, two weeks
13 before the expiration date, and the New Solar Homes
14 person confirmed back to us the next day that the clock
15 was now stopped.

16 Fast forward to now and the CEC people are
17 telling us that the rebate is not going to be honored.
18 this is a \$24,000 rebate.

19 Our customer is very upset about this and I have
20 included a letter to the Commissioner, to this effect,
21 from the homeowner.

22 Commissioners, we feel strongly that this rebate
23 should be paid.

24 At the last New Solar Homes Partnership Business
25 Meeting the Commissioners stated that they want the New

1 Solar Homes Rebate Program to be fair and equitable.

2 We feel that the fair and equitable thing to do
3 is to pay this rebate. The system was installed, it is
4 operating properly and there are no issues with the PV
5 system.

6 The issue was that the New Solar Homes staff and
7 staff people at PG&E told us the clock would be stopped
8 and now the New Solar Homes Program is not honoring that
9 statement.

10 Our client is very upset. She has written a
11 letter, which I've given to the Commissioner, and we're
12 also upset.

13 I thank you for your support on this.

14 COMMISSIONER PETERMAN: My Byington, thank you
15 for being here and for participating in the program.
16 And I am interested in what your experience is,
17 particularly with custom homes because you're right, we
18 haven't talked about that. And it is a focus of the
19 program, as well, and as we think about improvements to
20 the program we want to make sure that they work as well
21 in that market. And so I welcome further dialogue.

22 On the issue you raise, thank you for bringing
23 to my attention and thank you for the letter that
24 provides the detail that you've provided.

25 And I will work with staff, have my staff work

1 with staff to get some resolution to your matter. I'll
2 have my Adviser, Saul Gomez, who you can speak to
3 afterwards, follow up with you. I have your card and
4 we'll take it from there.

5 But thanks for being here. And if you have
6 additional comments about the custom homes, in
7 particular, from some of the dialogue you've heard today
8 or later on, please come back.

9 MR. BYINGTON: Thank you very much and --

10 COMMISSIONER PETERMAN: Thank you.

11 MR. BYINGTON: -- thank you for the program.

12 COMMISSIONER PETERMAN: Thank you.

13 Any other audience questions or comments?

14 MR. NESBITT: Couple of things I want to hit on.
15 SunPower mentioned that manufacturers are not exactly
16 making profits right now. I believe SolarCity lost \$76
17 million last year.

18 So, although low prices may be good for the
19 customer, if those prices are too low, they're bad for
20 the industry. If we're not making money you can't hire
21 people, you can't give them good wages, you're not going
22 to stay in business, you're not going to provide a
23 service.

24 So, unless it's profitable, there will be no
25 service.

1 I want to hit on number two. Nuclear power was
2 going to be so cheap we weren't going to meter it, so we
3 can never hope that the future will provide something
4 better than we have today.

5 The slip side of lower costs is higher
6 electrical costs, which we'll probably get.

7 Market barriers; CSI has been a severe market
8 barrier in past years. When we started, NSHP was \$2.25
9 a watt, CSI was \$1.65. I argued with installers, well,
10 why would we want to go to NSHP? Well, you can get a
11 big rebate on the building.

12 Oh, but we have to hire a HERS rater, we have to
13 be energy efficient, blah, blah, blah, when they could
14 go to CSI and they don't pay for the inspection.

15 Plus, we've got two programs that do the same
16 thing, different applications, different calculators,
17 different inspection protocols and that's been a big
18 problem.

19 On the NSHP side, you know, developers have
20 resisted it, a lot of installers have been turned away
21 from it and basically refused to do NSHP.

22 A lot of HERS raters have said we're not doing
23 it just because of all, you know, all the problems we
24 end up dealing with.

25 Now, obviously, that's changing with the market

1 now. But, you know, there's sort of the legacy there
2 that will hold us back.

3 Which gets us to four, we really need to take a
4 hard look at how to streamline the whole process, make
5 it easier, quicker, cheaper without losing the integrity
6 and equity.

7 On number five, energy-efficient mortgage, I
8 know you can do it on a new home. It's a way to provide
9 value to the energy efficiency as well as the renewable.
10 HERS 2 Net Zero Energy Home, I certified the first new
11 single-family net zero energy home in California, this
12 last year, also a passive house.

13 So, we have the tools. And to do a HERS rating
14 is the same inputs as you do for Title 24 Energy Code
15 compliance, with a few, you know, appliances and
16 lighting it's really not a hard thing to do and it's the
17 same inputs we use for energy-efficient mortgage, so
18 that's something the builders should be using.

19 And I just want to comment on the whole net
20 zero, KB Homes was talking about, you know, offsetting
21 gas with the PV system and whatnot. When you do the
22 HERS 2 Net Zero Energy calculation you're offsetting the
23 gas, but you're typically -- you're still less than your
24 actual site energy electrical use.

25 So, the thing is when you go net zero electric

1 use you hit minimum monthly charges. And, of course,
2 there's the whole net metering thing.

3 You know, unfortunately, we really do need a
4 better system than -- ultimately, if we have 100 percent
5 net zero energy homes in 2020, we can't have all these
6 new homes come on the grid and they're not paying into
7 the system that they're still hooked up to.

8 So, that's all I want to say for now.

9 MR. RAYMER: Could I ask a question?

10 COMMISSIONER PETERMAN: Sure.

11 MR. RAYMER: When you're talking about a new
12 home and then looking at NSHP versus CSI, are you
13 suggesting that in some cases the custom homes -- that
14 the buyer prefers to wait until the home's built and
15 then go CSI?

16 MR. NESBITT: Yeah, so I deal -- I don't deal in
17 the production market because I'm in Oakland.

18 MR. RAYMER: Right.

19 MR. NESBITT: I deal with multi-family
20 affordable housing. They're doing it because to get
21 money they have to do it.

22 But on the custom home end, not going to NSHP
23 probably does not mean they're not going to install a
24 system, especially when CSI was a buck 65.

25 I think on the production end the slow uptake of

1 NSHP has meant those systems have never been installed
2 and never will. You know, I mean it's going to be a lot
3 less likely that people in newer homes are putting on
4 systems.

5 And so, you know, getting production builders to
6 offer it as a standard or install it standard I think is
7 very important.

8 The custom end it's probably still going to
9 happen.

10 But what does happen, and I have projects where
11 either the client couldn't afford it or maybe they
12 didn't -- no one explained it to them. Had they
13 installed it when they build their home, they'd have
14 gotten a lot bigger rebate than they're getting today.

15 And the other thing is I think the solar
16 industry either doesn't fully realize or maybe -- you
17 know, that in an NSHP project, and this is probably true
18 of more of the custom than the production, that the
19 builder or the homeowner can get a large incentive for
20 the building.

21 And I mean my net zero energy home got \$10,000
22 for the energy efficiency with the current -- you know,
23 it used to be \$2,000. You know, I've got projects that
24 are in that \$10,000 range, the large custom homes. It's
25 kind of crazy what you can get.

1 But people just -- they don't realize they can
2 get it and there's a learning curve. There's definitely
3 a learning curve for all of us.

4 And I've actually -- I've had an application on
5 a project rejected twice this year for NSHP. I was
6 summarily rejected because of the Guidebook revision in
7 January. And then after PG&E sat on my -- well, I had
8 to fight to get my resubmission, and then they sat on it
9 and did nothing, and then they summarily rejected it
10 because they said things didn't match, but they matched.

11 And it's just -- and I'm the one that's eating
12 it in this case.

13 So, yeah, custom home and production are a
14 little different. And also, I think from a policy goal
15 the net zero includes 50 percent of major additions and
16 remodels net zero by 2022, and so it's an important
17 market that we not exclude or not think about.

18 COMMISSIONER PETERMAN: Well, I mean going
19 forward in the next panel we'll talk a bit about the
20 zero -- two panels from now, the net zero energy goal.

21 And having had the experience with a custom
22 home, if you have some comments during that period, as
23 well, that would be appreciated.

24 And, you know, regarding your general comment
25 about the need for businesses to be profitable, on the

1 next panel we'll be talking about different financing
2 models because we want to make sure that those are
3 sustainable.

4 And, you know, ultimately the challenge we're in
5 is there's a need for incentives because the business
6 models aren't profitable, yet, and so it's hard to get
7 that metric to what it will take to get there.

8 But, you know, ultimately, we're trying to move
9 towards a self-sustaining industry and so looking for
10 feedback on what it takes to get there.

11 Mr. Byington, did you have any comments on the
12 custom home market? Mr. Nesbitt noted that he's seen
13 some customers decide not to pursue the New Solar Homes
14 Partnership and wait to do the CSI. I didn't know if
15 you had any more insight on that?

16 MR. BYINGTON: I believe that the New Solar
17 Homes Rebate definitely does help homeowners go forward
18 with photovoltaic systems.

19 You know, when you're building a new home
20 there's a lot of expenses, and typically they have a
21 budget. And it might come down to I can have solar or I
22 can have granite countertops, or I can have solar or I
23 can have, you know, my swimming pool.

24 And the New Solar Homes Rebate, I believe, makes
25 a big difference.

1 COMMISSIONER PETERMAN: Thank you.

2 Any other panelists have any comments on some of
3 the things you've just heard, and then we'll hear from
4 this next member of the public.

5 It doesn't seem like it so please, ma'am, come
6 up.

7 MS. GUPTA: Smita Gupta from ITRON. I wanted to
8 bring up the question of NSHP addressing solar at the
9 community level. So, one of the projects, ITRON manages
10 the CSI RD&D program and one of the grants is to the UC
11 Davis West Village Community.

12 And managing that ground, one of the challenges
13 was new residential construction and not being able to
14 avail of the NSHP incentive because of the definition of
15 a system for the current Guidebook being for an
16 individual inverter connected to a meter.

17 And so going on an individual home basis versus
18 in a community setting where solar for even a
19 residential community can be much more financially and
20 cost-viable, and more economically efficient at a
21 community level.

22 It does bring in the challenge of having, you
23 know, virtual net metering probably offering for the
24 market rate single-family housing, but the fact there
25 are -- there are mechanisms, at least in the UC Davis

1 example, as one case, where it could have been
2 addressed, but NSHP not addressing community solar is
3 one of the issues, and if that's something that could be
4 considered in the future revisions.

5 COMMISSIONER PETERMAN: Thank you for that
6 comment. I think we're aware of those circumstances and
7 so I can't speak to specifically, if anything, the
8 Commissioner might do differently, but it's something
9 that's come to our attention from the UC Davis West
10 Village Project.

11 Yes?

12 MS. GRIFFITH: Good morning, I'm Meredith
13 Griffith and I work with SunPower. I, too, started my
14 career at SunPower with the ERP Solar Program quite some
15 time ago, so I've definitely been in it for the long
16 haul with the NSHP program from the beginning.

17 And, you know, definitely we have seen so many
18 improvements, that the staff is always very easy to work
19 with.

20 We always appreciate the ability to submit
21 comments and input to the Guidebook whenever the staff
22 is looking to revise that.

23 My comment is mostly just going to be related in
24 kind of a blanket format overlying the statement about
25 the number three and four, about the program

1 inefficiencies, market inefficiencies, things which may
2 get very difficult to claim in an NSHP rebate.

3 I think that we all agree, and to further
4 support Matt's comments about energy efficiency
5 definitely needing to be a factor, that the most
6 difficult thing we encounter is getting to the finish
7 line with the energy efficiency and the PV verifications
8 that are required.

9 These builders are building energy-efficient
10 homes every time. I don't think we've ever encountered
11 a builder who said they were going to build an energy-
12 efficient home and ended up not building an energy-
13 efficient home, at least in my experience.

14 The most difficult piece of the puzzle is
15 getting to that finish line. And I don't think there's
16 one particular process that is failing. I have noticed
17 over the years the HERS stills, and abilities, and the
18 partnerships with the installers, such as us, has
19 significantly improved from the last few years ago.

20 We work very closely with a lot of HERS raters
21 and we both try to get to the finish line. And what I
22 have found is even the HERS raters have the same
23 difficulties as Mr. Nesbitt was describing.

24 I don't want to say that it's not that they
25 don't have any incentive to do it, or they don't want to

1 do it, or they can't do it. They also experience the
2 same difficulties with the current registry. There's a
3 lot of administrative burdens that go into that.

4 And to your point about the builders needing the
5 energy-efficiency verifications in order for them to get
6 their CAP rebates, the CAP rebates are sometimes, in
7 some builders' cases, somewhat lower, much lower than
8 the NSHP rebates.

9 They are very under-staffed. They are, you
10 know, way too busy, they don't have time to get involved
11 and, in some cases, I don't think that they're always
12 tracking to what rebates they need to be getting.

13 So, I think the intention was, well, the
14 builders are going to need the EE verifications and so,
15 therefore, it should be easy for you to get the PV
16 because it's going to be done anyway.

17 But I think in some cases the builders may be
18 experiencing some delays and some headaches with
19 collecting their EE rebates, as well, but maybe it's
20 just not as big of an issue because the rebates are so
21 much smaller.

22 But we do work very well with the HERS raters.
23 The HERS raters, every HERS rater that we work with is
24 definitely trying their hardest to also provide the
25 paperwork. There's just so many other things involved,

1 the plan checks, the registry, the format of the
2 registry, and there's a lot of administrative cost that
3 goes into that and administrative time.

4 So, I guess my statement is it's -- or my
5 comment more is that it's the inability or the
6 difficulty and delays in claiming NSHP rebates is not
7 related to builders not building to the Energy
8 Efficiency spec, it's just the process and getting to
9 that finish line.

10 And on our team, we have a group of five people
11 who work strictly on SunPower interconnections and
12 rebates and we can't even keep up, as well, with the
13 keeping up on everything all the way to the finish line.

14 So, the application process has significantly
15 streamlined and improved. Getting all the pieces
16 together makes sense, we 100 percent support it. That
17 finish line of getting the final docs and kind of the
18 inflexibility involved in that is really what creates
19 such a barrier for us.

20 So, that's all I wanted to comment on.

21 COMMISSIONER PETERMAN: Thank you, that's really
22 helpful to hear your on-the-ground experience. And,
23 again, looking forward to working on how do we
24 streamline while maintaining rigorous standardization.
25 And they end up oftentimes being tradeoffs, but there

1 seems to be room for improvement.

2 Is there anyone else in the audience with a
3 question or a comment?

4 Then I'll suggest we turn to the phone lines and
5 then we'll be able to do another round, as well, if
6 people think of something they'd like to say.

7 MS. NGUYEN: Okay, so we have Steve Zuretti on
8 the line and we've unmuted you.

9 MR. ZURETTI: Great, thanks, Steve Zuretti with
10 the Solar Energy Industry Association. I wanted to
11 offer a brief comment, if I could.

12 First, thank you to the Commission for putting
13 these panels together. There's been some great
14 discussion already and I look forward to the rest of the
15 day.

16 But there's been plenty of viable suggestions
17 all around that I think deserve greater consideration,
18 but I just wanted to offer SEIA's support for what I see
19 as the low-hanging fruit in the proposal for a task
20 force or quarterly stakeholder meetings similar to what
21 we see with CSI, which could serve to solicit feedback
22 on how the program is working.

23 So, the CSI's been immensely successful and in
24 speaking to stakeholders this is considered a very
25 helpful and important feature of the program.

1 So, SEIA would certainly support something
2 similar be considered for the New Solar Homes
3 Partnership so that any problematic issues could be
4 identified and discussed in a timely manner.

5 So, that's all I wanted to say at this point and
6 I appreciate the opportunity to call up.

7 COMMISSIONER PETERMAN: Thank you.

8 All right, do any of our panelists have any
9 additional comments they want to make?

10 Anyone in the audience?

11 Welcome, please come forward.

12 MS. CORWIN: My name is Bonnie Corwin, I'm with
13 Cobalt Power Systems and the Director of Administration
14 for our office.

15 COMMISSIONER PETERMAN: Can you speak a little
16 more into the microphone, ma'am?

17 MS. CORWIN: Is that better?

18 COMMISSIONER PETERMAN: Yeah, is it even on? Is
19 the green light on in front of you?

20 MS. CORWIN: Yeah.

21 COMMISSIONER PETERMAN: Okay.

22 MS. CORWIN: Okay, move closer. My name is
23 Bonnie Corwin, I'm with Cobalt Power Systems. I'm the
24 Director of Office Administration and I manage the staff
25 for the New Solar Homes Program.

1 One thing that we run into, as Mark mentioned,
2 we deal with custom homes and when we're dealing with a
3 HERS rater, and inspections, and Title 24, so it is not
4 uncommon for a custom home to have changes as the home
5 is being built. So, a lot of our jobs we run the Title
6 24, we go through the plan check, everything looks good,
7 we're ready to do the wrap-up, we're getting close to
8 the end of the project and then we go to the HERS rater,
9 we need the CF4R for the home, the EE, Energy Efficiency
10 Measures.

11 And they come back with the Title 24 has to be
12 re-run and it has to go through a whole new plan check,
13 and then that whole process has to go through again, so
14 it delays everything for the wrap-up for our jobs with
15 our customers, so it delays it months, almost a year to
16 do the wrap-up with the homeowner for the job.

17 So that's -- the HERS inspections is a major
18 hurdle. And our HERS raters, we have two in particular
19 that we work with on a regular basis. One of them is
20 just overwhelmed, it's difficult to get responses from
21 him.

22 Another one it's difficult to get responses, but
23 they are more responsive, but I think they're just so
24 overloaded because they have to re-run.

25 We have to get back to the contractor to get

1 more information, more documentation and it just is
2 very, very labor intensive.

3 Thank you so much.

4 COMMISSIONER PETERMAN: Yeah, thank you for your
5 comment.

6 MR. BRUST: I would just -- I think we see the
7 issue where we are submitting applications to the NSHP
8 and the amount of time that it's taking these
9 applications to go through these approval processes is
10 measured in months right now. And as you can imagine,
11 builders don't wait months to begin communities. They
12 start production within days and we're taking a risk
13 that the application's going to be accepted and
14 approved.

15 We know there's funding so, really, the risk is
16 that we didn't submit the application correctly which
17 we -- we've kind of cracked that code.

18 And I think it goes to this lady's comment as
19 well that resubmitting applications and having to wait
20 months and months for the application to go through the
21 review cycle.

22 So, the Commission might consider that
23 increasing the administration costs for the program
24 could actually result in a decreased cost for the
25 participants in the program if we can get these things

1 further.

2 I'm not required to carry rebates for four or
3 five months longer than I would otherwise have to
4 because we've got a much more expedited review,
5 approval, and on-board, you know, the applications.

6 I know that Meredith didn't mention it, but we
7 did discuss it recently, it's a major challenge for us
8 waiting for these to go through the process.

9 MR. RAYMER: Changes in the field aren't
10 associated with just custom homes, it happens pretty
11 much all the time with production housing, as well, so
12 it's an across-the-board issue.

13 COMMISSIONER PETERMAN: Thank you. You know,
14 thank you for that point, Matt.

15 For those who may not be familiar with the way
16 the process works, we have utility administrators and
17 that's where the review happens and then it eventually
18 comes up for additional review at the Energy Commission.

19 And the question of whether more money for
20 administration could then -- how that could expedite
21 that process is something worth looking into and it may
22 be a challenge that one of the issues may be that there
23 are certain things that need to be done that take a
24 certain amount of time and that's something we need to
25 better understand.

1 So, it's duly noted and it's something we can
2 have a conversation with our administrators on this
3 issue.

4 So, with that we are scheduled to break at
5 12:00, so I recommend we sit here quietly for 20
6 minutes.

7 (Laughter)

8 COMMISSIONER PETERMAN: That was not quiet.
9 Since there does not seem to be support for that
10 recommendation let's break early for lunch and I'll see
11 you back here at 1:00.

12 (Off the record at 11:39 a.m.)

13 (Resume at 1:16 p.m.)

14 COMMISSIONER PETERMAN: Hello, everyone, welcome
15 back. We'll just take one minute for everyone to get
16 into the room since I was late, and we'll get started.
17 Thanks.

18 (Pause)

19 MR. HARLAND: Hey, everybody, we are going to
20 get started here. Welcome back from lunch.

21 And my name is Eli Harland and I work here in
22 the Efficiency and Renewable Energy Division at the
23 Energy Commission. I work on the New Solar Homes
24 Partnership with Le-Quyen.

25 This is our second panel of four topics today.

1 We're going to have the other two right after this.

2 So, I'm going to -- you know, before we start
3 our panel presentation and our panel discussion I'm
4 going to give a quick overview to help establish some
5 context surrounding solar financing, and some of the
6 solar financing models.

7 So, this overview is going to be very broad and
8 it's not meant to try to capture anything too specific
9 as it relates to some of the financing models. But,
10 hopefully, we'll establish context and we'll move into
11 our discussion.

12 I'm going to talk about where the financing need
13 comes from for solar on new homes, the residential solar
14 PV financing models that exist, some general outcomes of
15 those models, and then we'll get into our panel
16 discussion like we did this morning.

17 So, a combination of policies and incentives are
18 used to lower the cost of installing and maintaining
19 solar PV systems.

20 The NSHP incentive is based on the expected
21 performance of a system and is paid up front.

22 Other incentives, like the Federal Tax Credit
23 and Utility Savings, those are spread over the life of
24 the system and those savings need to be kind of the
25 basis for the financing of a system

1 Because NSHP benefits incentives are limited to
2 50 percent of a system cost, the NSHP -- the amount that
3 needs to be financed on a system needs to be that 50
4 percent amount that is basically your residual amount
5 after you purchase the system, and install it, and
6 subtract your NSHP incentive.

7 So, between 2010 and 2012 the average weighted
8 cost for a system reported within the NSHP web tool for
9 NSHP systems was \$77.76 a watt and the average weighted
10 incentive was \$2.67 a watt.

11 So, that means that for those systems on average
12 the up-front capital requirement was \$5.09 a watt.

13 If we look at a -- when we assume a 4 kilowatt
14 system and using that average weight cost it's about
15 \$31,000 to install that system and a capital requirement
16 would be the incentive less that. And, obviously, the
17 incentive depends on the system type and whatnot.

18 So, how to finance the capital requirement, this
19 is where the models come in. There's generally two
20 financing models that exist and it's going to be based
21 on how the system is acquired.

22 And you're going to have either customer/owner
23 models and you're going to have a third-party model.

24 So, under the kind of customer/owner purchase
25 system financing types customers can use cash, they'll

1 use a loan or property taxes. So, within the new
2 construction sector you're going to see that -- or as we
3 talked about this morning, that a place to put that cost
4 for that solar PV in new construction is within the
5 primary mortgage, but there are also lines of credit and
6 equity lines of credit that folks can use for loans.

7 And I will note, too, on the property tax model
8 that's there this is a model where local agencies uses
9 its power to issue public money and makes loans to
10 customers for installations of solar PV, and those are
11 paid back through property taxes, commonly known as
12 PACE.

13 And right now it doesn't apply to new
14 residential construction, but wanted to share this as
15 another model for acquisition.

16 The other model that exists is a third-party
17 ownership model and in this model the system host is
18 making operating payments, or purchasing electricity
19 from a system owner.

20 And so under a lease agreement in a third-party
21 model you're going to be making those operating payments
22 and then under a PPA you're going to be purchasing
23 the -- purchasing the electricity, and PPA stands for
24 Power Purchase Agreement.

25 Within the CSI program we've seen significant

1 growth of the third-party model used on existing
2 residential.

3 Within the NSHP program we don't have a lot of
4 hard data, yet, on collecting how many third-party
5 models are used, but a lot of this growth -- you know,
6 the research attributes a lot of the growth of in the
7 third-party models to a legislative decision in
8 California, AB 2863, which kind of opened up the market
9 for the third-party system to exist.

10 So, here is a quick graph just to show the
11 growth of third-party financing within CSI. And this is
12 for existing residential customers, like I've mentioned,
13 not on new construction.

14 But in 2007, seven percent of all CSI rebates
15 for residential projects were installed using a third-
16 party model.

17 And in 2012, 72 percent so far have been
18 installed using this third-party model. And so this
19 just shows kind of the growth of this financing
20 mechanism.

21 And I also would note that during this period
22 from 2007 to 2012 CSI installations were increasing year
23 over year, so this kind of magnifies the phenomenal
24 growth of third-party models.

25 So, okay, so I want to provide a couple of

1 financial outcomes of some of those models. And going
2 back to our 4 kilowatt system, at \$7.76 a watt you have
3 a system that's going to cost about \$31,000.

4 So, if we look at that model and how it applies
5 to either a homeowner purchase, a corporate property
6 owner purchase or a lease, these are some of the
7 outcomes that occur.

8 So, under the homeowner purchase the incentive
9 would reduce the system price by about \$7,000. This is
10 an assumption at the current NSHP incentive rate. And
11 that would mean that the system has a basis, for the
12 purposes of calculating your ITC, which is your
13 investment tax credit, and so your basis because \$24,000
14 on a system like this, which means that you can claim
15 the 30 percent of that as an investment tax credit and
16 that's \$7,212, as you can see there.

17 So, in the end the net system price for a
18 customer in this situation would be \$16,828.

19 For a corporate property owner or for a lease
20 company, someone who's owning that system and is
21 being -- or uses the tax system and reports their taxes
22 differently, they do have the ability to use modified
23 accelerated cost recovery, which is a way to depreciate
24 things quicker than the useful life of an item.

25 And so what you see here is that the corporate

1 property owner, and the corporate property owner in this
2 case would be maybe somebody who is developing and
3 building a property, and then renting the units out, and
4 they're going to maintain ownership of the property, so
5 they'd also maintain ownership of the system, they'll
6 depreciate over a five-year base.

7 And so I have -- I've basically just used the
8 simple calculation of doing a 50 percent bonus
9 depreciation in year one for this system, and
10 depreciated it out over the next five years, and assumed
11 a 35 percent corporate tax rate to get to that number.

12 And so you see the net system price is lower for
13 the corporate property owner and it's the same under the
14 lease situation.

15 So, when you start to think about the value of
16 the system over its life, the NPV of utility savings in
17 this sense is -- again, it's assumed at 15 cents or so a
18 kilowatt hour, and I've increased that over 20 years and
19 then discounted it back to come up with the net present
20 value of those savings.

21 And so when you take that off of that system
22 price and those utility savings, the net system owner
23 cost for somebody who's purchasing a system in this
24 example is about \$4,000.

25 And the corporate property owner, because they

1 are able to take advantage of some of those depreciation
2 expenses, they are able to actually have a surplus there
3 and the same with the lease company.

4 In this case, when it comes to the lease that
5 I'm showing here in the net system owner cost, this is
6 the third-party owner of the system, this is their
7 expenses shown as net system price there, less the total
8 lease payments that they would receive for the lease.
9 And that's a 20-year lease at \$75 a month, with a 2
10 percent escalator. And that lease price per the month
11 is just used to illustrate the differences here and
12 lease prices aren't necessarily -- these aren't
13 necessarily the lease prices that most leases will have.

14 And then the net system user cost, these would
15 apply to folks who are just leasing the system, so the
16 user in this sense would be the host customer. And so
17 with the purchase and -- both purchase options you're
18 not going to have a user cost, necessarily, but you are
19 going to have under the lease your user cost.

20 And so this is showing that when your monthly
21 payments for your lease and even for your PPA, if you're
22 buying that electricity for a cheaper price than the
23 value of the electricity that you would have bought,
24 that's where this savings comes from here.

25 But the important part to illustrate for our

1 conversation today is that even when you calculate all
2 these different savings, as I mentioned, everything is
3 spread through the life of the system except for the
4 NSHP incentive, which is paid up front.

5 So, under both purchase options day one you
6 still have \$24,000 of the \$31,000 that needs to be
7 financed somehow.

8 So, I wanted to provide quick examples of some
9 of the projects that we have seen in the NSHP program
10 here. I kind of just picked these out randomly and this
11 is just to illustrate the differences that we've seen in
12 the NSHP program, itself.

13 And so if you -- if you see the first project
14 that's listed there and you have the system price on
15 this one is \$23,099, about 85 percent of this system
16 price is actually made up in reported installation cost,
17 and then the difference of that, about 15 percent of it
18 is 20 years' worth of monthly payments for the lease,
19 itself.

20 So, I just want to illustrate this because it's
21 one of the difficulties we have within the NSHP program
22 to determine system prices for third-party-owned systems
23 that are participating in NSHP.

24 And then the second one that's listed there,
25 this also illustrates this again. In the lease

1 document, itself, this is where -- you know, where some
2 of this information comes from. It doesn't explicitly
3 show how an NSHP rebate will lower the electric cost per
4 month of the -- of the customer who is going to be
5 leasing this system.

6 And this is just another example of how it can
7 be difficult in the NSHP program to provide a
8 reservation or issue a payment if we don't have the
9 system price information, the system cost information.
10 And that's because we do have a 50 percent system cost
11 cap that's built into our NSHP incentive.

12 So, you know, it's the final price per watt,
13 this is on the right-hand side there, the final price
14 per watt is just a function of the total lease payments
15 made over the life of the lease, divided by the watts
16 installed, and then the purchase is the actual price
17 that was paid after the incentive was given.

18 And these are just some examples to illustrate
19 some of the different leases and some of the different
20 purchase options that we've seen.

21 So, we are going to get into our panel
22 discussion here. I know that we're running a little bit
23 behind, so we'll be quick to get moving through it.

24 I'm going to ask the panelists to please
25 introduce themselves.

1 We do have two panelists that are participating
2 via WebEx today, and so after the panelists at the table
3 are here I'll ask those that are on the WebEx to
4 introduce themselves.

5 And we can go ahead and get started with the
6 table.

7 MR. WEINGARTEN: Hi, I'm Eric Weingarten, I'm
8 the Assistant General Counsel for Revenue at SolarCity.

9 MR. MILFORD: Lew Milford, I'm the President of
10 Clean Energy Group. And Clean Energy States Alliance,
11 the California Energy Commission is a member, as are a
12 number of other State funding entities.

13 MR. SPRAGUE: Hi, my name's Ethan Sprague. I'm
14 the Director of Business development for SunRun, we're a
15 residential PPA/lease provider.

16 MR. BRUST: And I'm Matt Brust, the National
17 Sales Director with SunPower Corporation New Homes
18 Division.

19 MS. BERGER: Hi, I'm Sheila Berger. I'm the
20 Assistant Program Coordinator for the Energy
21 Independence Programs here in Sonoma County.

22 COMMISSIONER PETERMAN: Welcome, Sheila.

23 MS. BERGER: Thank you. Can you all hear me
24 okay?

25 MR. HARLAND: Yeah.

1 COMMISSIONER PETERMAN: We can. You're coming
2 in loud and clear.

3 MS. BERGER: Great.

4 COMMISSIONER PETERMAN: And oftentimes I find if
5 you're on the phone with these panels, if you want to
6 make a point don't hesitate just to comment, just to
7 start speaking.

8 MS. BERGER: Okay.

9 MR. HARLAND: And we have -- is Albert there?

10 MR. LUU: Yes, hi, Albert Luu, Director for
11 Finance with SolarCity.

12 MR. HARLAND: Thanks. Okay, so thank you for
13 the panelists for coming today, thanks for the panelists
14 who are participating in multiple panels, we appreciate
15 it.

16 We'll get started with the panel question. So,
17 the first question is what are the dominant financing
18 arrangements and mechanisms for installing solar on new
19 homes?

20 And I will throw that out there to the group to
21 see who bites first.

22 MS. BERGER: Well, I guess I'll go first, this
23 is Sheila.

24 And I guess what I would say to this question is
25 for Property-Assist Clean Energy, I think Eli mentioned

1 that we do not fund improvements to new construction so
2 this question, perhaps, doesn't really pertain to us.
3 Although, if a home is new and it has a certificate of
4 occupancy, at that point if the property owners came in
5 and wanted to fund a solar system using PACE financing,
6 we would do that.

7 MR. LUU: Hi, this is Albert; I'll take a crack
8 at that question. For new homes it's similar to
9 residential solar, in general and, you know, this market
10 really has two options to the homeowner or the customer.
11 It's a cash product or a finance product, and a finance
12 product being a PPA or a lease.

13 And I think you've seen in California those
14 markets, predominantly finance systems, PPAs and leases
15 in new homes falls within that bucket, as well.

16 MR. MILFORD: Yeah, this is Lew Milford. You
17 know, we're seeing this obviously in other states, as
18 well, in New Jersey, Connecticut, many other states that
19 have solar programs, I think we're seeing the same trend
20 there with the increased use of third-party finance PPA
21 arrangements.

22 Most of the states don't have, you know, a
23 dedicated new home construction program, like you do, so
24 these are on -- you know, they can be new construction
25 or retrofits, but clearly we're seeing the same trends

1 and probably some of the same issues that you're going
2 to be talking about, as well, have come up in other
3 states.

4 MR. HARLAND: Okay, so earlier when we were
5 talking about -- in our first panel this morning we were
6 talking generally about the solar PV market and new
7 construction and there were conversations about the
8 energy-efficient mortgage, as well as other loan
9 products that are available to be included in the
10 mortgage. So, I guess building off of this question
11 about dominant financing arrangements for new homes, are
12 there any packages that are offered by companies or by
13 builders that provide financing up front within the
14 residential market, and a specific product type, I
15 guess, for new residential?

16 MR. BRUST: This is Matt Brust, I'll try to take
17 this one. I'm not aware of any builders that have
18 specific financing packages. We have worked with some
19 of our customers to try and get the energy-efficient
20 mortgage to work to fund both energy efficiency and
21 renewables.

22 Within the context of production homes we've
23 found that to be fairly difficult and it seemed to come
24 down to the -- the major lenders not having programs set
25 up to do volume-based underwriting with the energy-

1 efficient mortgage, though it can be done and it can be
2 done in new construction and refinancing. And I would
3 say that if that were to work and we could figure that
4 out, that is absolutely a fantastic way, I believe, to
5 do this because it, again, provides the opportunity for
6 the homeowner to finance the system. They personally
7 monetize the tax credits, they own the system, it's very
8 simple and generally, kind of always I would say when it
9 goes right to the mortgage payment it would be less than
10 what they would have otherwise paid the utilities. And
11 it makes them a stronger homeowner in that regard.

12 So, we talked this morning about the SAVE Act,
13 which is sponsored by -- and we talked about bipartisan
14 sponsorship, the Leading Builders of America, which is
15 your top 10, 15 U.S. home builders, the Council that
16 they created is the lead on that bill.

17 And so that allows the monetization of the
18 energy savings to happen at the mortgage and requires
19 things like HERS ratings and things that happen.

20 So, I think there's positive -- we're going in
21 the right direction. How long that would take, I don't
22 know.

23 And I would just close by saying right now in
24 the New Solar Home Partnership the great majority, I
25 would venture to guess 70 percent of the new homes are

1 financed, are cash sales or financed through the
2 mortgage.

3 The question I have is whether we will see the
4 same thing happen in the retrofit market, where we saw
5 this sort of explosion happen in new construction.

6 And I personally think the jury's out and maybe
7 we would ask some of our colleagues what they think
8 about that, what is the long-term perspective on leasing
9 of new homes and that sort of thing.

10 MR. SPRAGUE: Yeah, this is Ethan Sprague with
11 SunRun. And in new homes we just offer a lease. And
12 one of the -- the ideal situation, I think, for new home
13 builders and new home buyers is getting what we call a
14 prepaid lease wrapped into your mortgage for your new
15 home.

16 So, you'd have one payment to your lending
17 institution and you would have a right to the energy
18 from the system on your roof for 20 years. In fact,
19 it's not just a right. You'd be guaranteed production
20 value.

21 You have no further maintenance costs and the
22 solar company who is the service provider, such as
23 SunRun, would be guaranteeing you that the system would
24 produce and it would all be wrapped in.

25 So, you'd move into your home and you've got

1 energy, you know, the majority of your energy's supplied
2 for 20 years, and you're paying for that cost within the
3 mortgage.

4 And the reason that doesn't happen today is
5 because the way the leases are structured it cannot be a
6 permanent fixture to the home, and so the lending
7 institutions take a very narrow view of what they will
8 lend against. And because it's not technically
9 permanent, they feel like, you know, if there was a
10 foreclosure or something like that that the loan company
11 or the service company, SunRun in this case, could take
12 the system off the home. And, therefore, the value of
13 the home wouldn't be as great.

14 That isn't true because it's been prepaid and,
15 in fact, we guarantee to produce that.

16 So, we went -- we've been around and around with
17 HUD on this and they allowed, in a program called the
18 Power Saver Program, it's a retrofit application, they
19 allowed a prepaid lease to be financed or back-stopped
20 by HUD in that case.

21 And we're hoping they widen their view of what a
22 lease is to allow new home buyers to include leases in
23 the mortgage, because there is a company willing to
24 back-stop it. And the company has no interest in taking
25 the system off the roof because the ITC would be

1 reclaimed if it happens within the first five years.

2 There's a bunch of other reasons why we have no
3 interest in taking it off. So, anyway, that's a long
4 answer to that.

5 But I think once -- if that issue gets resolved,
6 I think we'll see the market trend like the retrofit
7 market has towards more leases.

8 MR. HARLAND: Okay, so --

9 MS. BERGER: And to that point, Ethan, the
10 Sonoma County Energy Independence Program, we do finance
11 prepaid leases, too. We were recently provided that
12 authority through State legislation, from the PACE
13 program, so we have taken advantage of that and we have
14 financed a couple prepaid leases.

15 MR. SPRAGUE: And maybe it's worth just
16 explaining, you know, what this means. It's that you
17 get a funding source and you pay a lease company for the
18 full length of the contract up front.

19 MS. BERGER: Yes.

20 MR. SPRAGUE: So, the homeowner in Sonoma that
21 got a PACE -- it's a PACE lien, I guess is the right
22 terminology, would pay the PACE lien off bi-annually
23 with their taxes, and they would have this guaranteed
24 right to the energy, they'd be guaranteed 20 years of
25 energy from the system on their roof.

1 And if they move, then that system just stays
2 with the home. And leases, functionally, stay with the
3 home, just like they were if they were permanently
4 attached.

5 MR. HARLAND: Okay. So, I guess in that sense
6 it's like the system being installed as like a purchase
7 if it was -- if the system, itself, the system price is
8 part of the mortgage, except for in this case you're
9 financing all the payments you would make in the future
10 as opposed to purchasing and then putting that into
11 there. Okay.

12 MR. SPRAGUE: Yes, that's correct.

13 MR. HARLAND: Okay, and you were explaining that
14 for lending they're having a difficulty guaranteeing
15 that the system will remain intact and keep the value of
16 the home the same way it was appraised at on the day the
17 loan was made?

18 MR. SPRAGUE: I think it's sort of the new --
19 the attorneys in Washington, who look at this, they take
20 sort of a narrow view of what's -- you know, given the
21 recent history of lending and underwriting bad loans,
22 they want to make sure that the value that they're
23 lending against is real. And the fact that it's not
24 permanently affixed is troublesome for them.

25 You know, mobile homes and other types of

1 property issues get into this category and I think it's
2 just a matter of them getting comfortable with it.

3 Most of the money that goes to invest in leases
4 actually comes from the same banks who are doing the
5 lending.

6 All right, so if you look at the tax equity
7 providers out there, you know, it's the Bank of America,
8 the US Bank, you know, the big banks, and so I think
9 we'll get there.

10 MR. HARLAND: Thanks. Okay, so if anybody
11 doesn't have anything to add to that question, we'll
12 move on to the second one.

13 What are the pros and cons of such arrangements,
14 so we're talking about the financing arrangements, or
15 mechanisms from the perspective of the end-use customer,
16 the builder, the installer and the ratepayers who fund
17 the incentives that are provided for these systems?

18 MR. MILFORD: I can just take on the last one,
19 more from the perspective of the State player who are
20 starting to see these kinds of financings and I think,
21 obviously, there's some significant benefit to the end-
22 use customer not having to up-front a lot of capital
23 costs.

24 I think for the public funders, and I'll put
25 public funders for ratepayers that are those entities

1 like CEC that are providing incentives to solar
2 programs, whether it's new home construction or others.

3 I think for many of them, you know, this is
4 fairly sophisticated and opaque as there are a lot of
5 very sophisticated financial players involved in this
6 game who have made this happen, and I think that's all
7 to the good.

8 I think from the public funding entities there
9 is a sense of uncertainty or lack of clarity about the
10 relationship between their public funding and the nature
11 of the financial deals that are being structured. And
12 then that is how do you make intelligent decisions about
13 levels of public support in programs that are difficult
14 to understand and may not be as transparent as they
15 should be.

16 You know, I'm not blaming anybody, I think it's
17 just the nature of this business right now, it's moving,
18 the financial engineering is moving more quickly, I'd
19 say, than sort of the public policy is catching up with
20 it. That's at least what we're seeing in just a rough
21 take around the country.

22 And I think that just needs to get calibrated at
23 some point so that there's a better understanding of
24 where this is moving and then what role the public
25 players would have.

1 I think the other thing I would just say, and
2 this may or may not fit within this topic but, you know,
3 it is that the underlying basis for the availability of
4 these tools, you know, is tax equity and depreciation at
5 the Federal level, largely, and obviously state support.

6 And from a larger perspective, you know, there
7 is significant uncertainty in the next several years
8 about long-term viability of ITC and depreciation
9 allowance, and where that's all heading.

10 So, it's obviously every square of that, but
11 it's a significant flag I'd say going forward. Not just
12 to these kinds of efforts, but to all the financing
13 efforts going forward, and whether there are alternative
14 means going forward that look more like, you know, bond
15 or stock structures that may not be so dependent on tax
16 equity structures.

17 So, I'd just throw those kinds of issues out in
18 this framework.

19 MR. BRUST: So, I would obviously say a pro of
20 the third-party is clearly that it removes the cost
21 barrier to, you now, kind of the solar homeowner or
22 customer.

23 You know, what I personally struggle with is
24 whether -- you know, the goal that I would have is to
25 reach the Commission's goals, and the net zero goals and

1 that we're able to put solar on 50 percent of the new
2 homes and hit our 400-watt target, we're at net zero by
3 2020. And what is the model that we're going to get
4 there by and what is the most sustainable model?

5 And, you know, as was just alluded to with some
6 of our tax structures and things like that will leasing
7 be the dominant model that takes us there?

8 And so I see one of the risks of when you offer
9 solar to be essential no cost to a home builder, the
10 engagement that I've seen is very low because if they're
11 not participating in the cost, they're not as
12 participant in the education, the inclusion of this, the
13 idea of getting the cost down, everything that you need
14 to do to make this mainstream technology in new homes.

15 And so I would want to make sure that we're
16 investing ratepayer funds in models that we believe are
17 going to be the sustained mainstream models that we will
18 be at in 2020.

19 And, you know, obviously leasing in residential
20 business is very critical and will probably be there for
21 a long time. However new homes, as I alluded in my
22 earlier comments, is just a completely different channel
23 than the other channels who oversee these structures.

24 MR. SPRAGUE: You know, SunRun takes a slightly
25 different view in that we think that right now leasing

1 is providing a discount to cash to the builders. So,
2 the builders who want to have a lease in their community
3 they -- you know, the cost to their consumer is much
4 less than cash would be, the financing is being provided
5 and the lessor is back-stopping the equipment. So, if
6 that equipment manufacturer goes out of business we're
7 going to be there to guarantee the production, we're
8 back-stopping the installation, we're guaranteeing that
9 it's installed correctly and we're there to service
10 them.

11 We talk to the customers about net metering and
12 a whole bunch of other host of issues. And I've found
13 that the builders like that -- like that model, to have
14 someone there to explain for them the equipment and the
15 service, and to back-stop it, frankly.

16 They have less liability with SunRun in between
17 them and the solar system than if they just incorporated
18 it into their home. The solar manufacturer goes
19 bankrupt, the inverter goes out, whatnot, there's no --
20 you know, that's a headache for the builder.

21 And so with us in between that there's an extra
22 level of insurance for them that the customer issues,
23 the equipment will be supported by someone who's got the
24 knowledge and expertise, and leverage, frankly, with
25 other manufacturers to make sure that they live up to

1 their warranties.

2 COMMISSIONER PETERMAN: I'd just like to make an
3 observation and we'll talk about it in the next panel,
4 but you bringing up this additional role that one
5 company can have in terms of being there as an
6 intermediary, it makes me think about what are our
7 protections to ensure that such intermediary businesses
8 are able to back-stop that well.

9 Because if we focus on the wrong equipment
10 warranty, labor warranty, but if there are expectations
11 that there are other parties who are not engaging with
12 us more directly who are responsible for the consumer
13 protection. We want to have a sense of their role, as
14 well, and how do we provide additional protection there.

15 MR. SPRAGUE: So, is there a question or --

16 COMMISSIONER PETERMAN: No, it's just a
17 Commissioner prerogative statement.

18 (Laughter)

19 COMMISSIONER PETERMAN: Just to let you know I'm
20 still listening.

21 And then on the issue of, since I'm on the mic
22 already, tax structure at risk, you know, one of the --
23 you know, I was wondering we could at some point talk
24 about that a bit more, about the -- yeah, what's the
25 acceptable -- of those who are engaging in leasing,

1 what's the acceptable level of payment, that you've
2 heard, that customers are willing to receive?

3 Because if something happens to the solar
4 depreciation credit, or the ITC, I was just curious what
5 that is and is it at what they're currently paying for
6 electricity now, on a monthly basis? So, I want to get
7 some sense for that, as well.

8 MR. LUU: Yeah, different sources, but typically
9 you find customers want to see a 10 to 15 percent
10 savings, that moves the needle for them.

11 COMMISSIONER PETERMAN: Thank you.

12 MR. SPRAGUE: I think the larger question that's
13 sort of being asked is, you know, the NSHP has a certain
14 amount of funds, it's going to run out, the ITC is
15 scheduled to drop 30 percent, to 10 percent, makers may,
16 you know, change and is the least structure going to
17 survive all that?

18 And, you know, as I think as was mentioned in
19 the earlier panel that the soft costs actually
20 drive a lot of the cost. And that what we see, our
21 best way to get customers is through referrals and
22 customer services. And so we measure ourselves on NPM,
23 Net Promoter Score, how happy our customers are, our
24 bonuses are paid that way.

25 And our view, our strategy is to really provide

1 superior service to the customer in order to lower costs
2 and get referrals, and drive market awareness of this.

3 And we think that, combined with efficiencies of
4 scale on the installation side, increased purchase power
5 and we'll be able to ride through those changes in the
6 marketplace and be the accepted form of solar going
7 forward.

8 A side note to that is, you know, the building
9 community, currently, you know, there is a rebate but
10 they're not getting Title 24 compliance credit for PV.
11 And I know there's this little issue of cost
12 effectiveness, but I think in some of the costs, you're
13 seeing cost per watt are cost effective, and I think the
14 builders should get some credit somewhere along the
15 lines for installing these systems on their product.

16 COMMISSIONER PETERMAN: I think you've made a
17 good point about some of the timing, as well, about all
18 of these various incentives. So, if this program is
19 scheduled to end in 2016, I think that might be when the
20 ITC is scheduled to end, and so something for us to
21 think about as a State if there is some more
22 appropriating staggering of incentives. You know, what
23 would the difference be between a New Solar Homes
24 Partnership Program that stops financing in 2016, versus
25 2018, and just in making that transition off of

1 incentives. How do we do it not so abruptly, so that's
2 something else for us to think about.

3 MR. MILFORD: Commissioner, I have just one
4 comment on that. I think, as we've talked to some of
5 the other states about this and I think you're probably
6 struggling with the same thing, there's a bit of a data
7 gap here in terms of from the public side understanding,
8 you know, what the internal mechanics of what some of
9 these deals look like and then what the affect may be on
10 different subsidy levels on, you know, cost of capital,
11 for example, and rate of return, that sort of thing.

12 And I think right now it's just difficult, I
13 think, for a lot state players to penetrate that.
14 There's not enough data, and whether it's possible to
15 get, and whether there are arrangements to be had to
16 make it possible seems like it's a challenge right now
17 from a lot of the states around the country.

18 MS. BERGER: There's another big data gap,
19 currently, is how much are homes appreciating as a
20 result of having solar installed. We've seen in our
21 program where we've provided financing for solar arrays
22 and then six months to a year later that property either
23 sells at a higher cost because they've been able to get
24 more for their property, and then they pay off their
25 PACE loan at that time.

1 So, that could be another driver if there's a
2 larger data set out there.

3 COMMISSIONER PETERMAN: I will just note, this
4 is Commissioner Peterman, that that's a good point that
5 was raised in this morning's panel. And there is more
6 research in this area, there's a recent -- there's a
7 couple years ago a report, and I think there would be a
8 more recent one, but that is an area where we can still
9 use more data.

10 MR. WEINGARTEN: Yeah, I just wanted to clarify
11 something, the Federal Investment Tax Credit in 2016, it
12 goes down to 10 percent.

13 So, there is a staggering -- and I mean I think
14 that's a good point taking a look at staggering and
15 rationing down. I mean that is something certainly that
16 other industries have seen and utilized. I know it's
17 something that's being discussed, you know, in the wind
18 industry, also.

19 So, if something -- you know, you take a look at
20 the data that you're seeing in the market in terms of
21 the take rate, and then also the cost per watt, and
22 analyze that and take a look, kind of projecting that
23 forward what kind of incentive is going to be necessary
24 to continue the acceleration of the take rate of solar
25 in new homes.

1 MR. SPRAGUE: I just had one follow-up point on
2 question number two, on the benefits to ratepayers. I
3 think from the lease side of it there's been some
4 evidence to show that because the consumer doesn't need
5 the capital up front that we're seeing lease systems, at
6 least in zip codes that have lower median incomes, and
7 so that there's some demographic appeal to the lease in
8 that you have to have a good FICO score, but you don't
9 have to have 20 grand in cash.

10 And so it's slightly -- the benefits are
11 disbursed to a slightly broader population set.

12 MR. MILFORD: It's actually a great point.
13 There's a study on the Connecticut program, which is
14 really more of a state-run leasing program, and there's
15 a -- I think NREL did a report on this. But what they
16 were showing, I've got a couple notes on this, they only
17 had about eight or nine hundred leases, I guess.

18 But their incomes levels were showing, on
19 average, about \$100,000 income, but there were a
20 surprisingly large number that had about a 60K level,
21 they were showing more than they expected at those
22 levels, as well.

23 So, there's some data. We need more, other data
24 to back that up.

25 MR. HARLAND: Yeah, that's an interesting point.

1 I've seen similar studies that show, I think it was in
2 the Southern California area, where demand actually
3 increases because you can now offer systems to
4 households that weren't able to purchase them before,
5 consumers so --

6 MR. BRUST: I would point out that I think
7 that's limited to residential retrofit, though.

8 MR. HARLAND: Right.

9 MR. BRUST: FHA financing allows you to put
10 three percent down to purchase a home. If a system
11 costs you \$12,000, you don't need 20,000 -- you know, a
12 grand or so for additional down payment to make this
13 work. So I think the benefit to the hard-to-reach
14 market is -- you know, it kind of expands NSHP just in
15 general because of the way that we're able to get, I
16 think, lower costs in this retrofit because of the
17 economies of scale looking at the builder, and
18 production volume, and things like that. So, there's
19 several factors working in that direction there, but I'd
20 say it's program wide.

21 MR. HARLAND: Right, that's a good. That's a
22 good point.

23 Okay, so let's move on to our third question.
24 What is the share of financial risk borne by each of the
25 above-mentioned parties, so the end-use customer, the

1 builder, the installer and the ratepayer under different
2 financing arrangements and mechanisms?

3 And so far it seems we're talking predominantly
4 about including those in a mortgage or a third-party
5 financing so --

6 MS. BERGER: Well, in terms of PACE financing,
7 the risk to the property owner is the same as any
8 property tax assessment would be.

9 COMMISSIONER PETERMAN: I guess I would tweak
10 this question a bit more broadly. I'm just not
11 interested in only the risk, but also just the financial
12 cost.

13 Also, when the point came up about the kind of
14 various levels of skin in the game and our traditional
15 financing model has been an up-front cash incentive and
16 so it was understood how much the private market was
17 contributing to the cost of the PV system, how much the
18 State incentive was.

19 It's not as clear to me with some of these other
20 models, the lease model for example, about how to think
21 about what that share of private investment is. And we
22 do want to have some sense of these incentives covering
23 sufficient amount of the cost, but not all of it for a
24 system.

25 And so you could also speak to that question, as

1 well.

2 MR. SPRAGUE: I mean the financial risk, I mean
3 when I get to the financial risk I think about it, and
4 I'm not sure I'm thinking about it the same way that you
5 might be, but we basically have a risk to the tax equity
6 investor that we've got to pay back the amount of money.

7 And so we don't want to sign a deal with the
8 customer where they're in a worse position to pay us
9 than they would be to pay their utility bill, we want to
10 make sure that they save money.

11 We have equipment risk. We have rebate risk.
12 Is the rebate going to come through? Is it going to
13 come through at the rebate amount that's been specified,
14 how much are we going to have to spend to get the
15 rebate?

16 We have maintenance risk. How -- you know, are
17 the pigeons going to nest on this roof? Are golf balls
18 going to hit it?

19 For example, I think I mentioned equipment, is
20 the manufacturer going to go out of business?

21 So, we have to put aside money to maintain these
22 systems for the 20 years.

23 And so when you look at the cost, our costs
24 don't add up to the turnkey costs that you might see on
25 your sheet, our costs are greater than that. It's not

1 an apples-to-apples comparison.

2 A homeowner who buys a system, the inverter will
3 go out and whether it goes out within the manufacturer's
4 warranty or not is unknown. They're going to have to
5 spend time to realize that their system is broken. We
6 monitor all the systems.

7 So, it's just -- I think there's different
8 levels of risk but I just don't -- I agree that the data
9 is not apples to apples, so it's hard to make a
10 comparison.

11 I think from the builder perspective, I think
12 they should do due diligence on vetting their solar
13 installer, that they take a risk if they use a solar
14 installer that's not also their roofer because you've
15 got a roof warranty that you don't want to jeopardize.

16 But if you do a good job of understanding who
17 your solar installer is, and the finance, and the
18 quality of their operations then you limit your risk by
19 going with a lease provider in some ways.

20 COMMISSIONER PETERMAN: Thank you, that's
21 helpful. And I would ask, the slides provided or do an
22 excellent start to starting the conversation but,
23 indeed, there are different ways to think about
24 financial outcomes.

25 And so I would ask staff to catch up with Ethan

1 and others, later, who are working with leases to think
2 about a better way for us to understand all the costs
3 associated within.

4 MR. WEINGARTEN: Just one thing I'd like to add
5 on the financial risk borne by the end-use customer in a
6 leasing structure. I mean one thing to keep in mind
7 here is it's important to understand the typical
8 financing structure behind those leases and how that
9 protects the customer because, you know, that is
10 something clearly that the Commission is interested in
11 and I think the industry is interested in.

12 Any financing structures with the tax equity
13 investors, they don't get their return even in a -- and
14 I'll generalize here, but in a non-prepaid structure
15 they're not going to get their return until the full
16 payment of leases.

17 Now, granted, these are prepaid leases, but
18 these prepaid leases typically will get lumped in with a
19 lot of non-prepaid leases.

20 And in the fund structures that investor's going
21 to stay in the fund until the end to make sure that they
22 get their return. It's a mix of assets and that whole
23 mix of assets will then contribute to the return.

24 So, if the leasing company goes out of business
25 or otherwise has difficulty, that financing structure,

1 there's some other operator that will come in and take
2 over the operation of those assets to make sure that
3 they produce the revenue for the tax equity investor.

4 And that's different. You know, these
5 structures offer a little bit of that security, it's
6 almost like having a back-up servicer, if you will.
7 That's not really how it works but -- so, you know,
8 leasing as opposed to maybe a cash product, with a cash
9 product you're just buying a system and then you've got
10 a warranty, and if that warrantor goes out of business
11 then you're out of luck.

12 And in the leasing model, while you have a
13 similar concept and you have a warranty from the folks
14 that you're leasing the system from, you also have this
15 financing structure.

16 And I think it's important to think of that
17 financing structure as a benefit to the customer because
18 it's a 20-year relationship and it's a 20-year
19 relationship that is effectively back-stopped by, you
20 know, these tax equity investors that have very, very
21 highly rated credits, that have every incentive to make
22 sure that those assets generate.

23 So, I think in the leasing structures or the PPA
24 structures, however you call them, because again these
25 funds are mixed as PPAs and leases, both retrofit and

1 new-built homes, they're viewed the same by the
2 investors, it really is limited financial risk, I think,
3 for the -- for the homeowner because of that structure,
4 which is kind of a unique -- it's interesting. It's
5 not, from an academic level, something that you would
6 expect, but it is a natural conclusion based on the
7 structure.

8 COMMISSIONER PETERMAN: Eric, thank you for that
9 more detailed explanation because indeed, although we're
10 interested in the pros and cons from a lot of different
11 angles, representing the State and the public investment
12 I'm particularly interested in the end-use consumer and
13 the ratepayer perspective.

14 Because I'm going to assume if the contractors
15 and builders are coming in with models it would suggest
16 they like them, and we don't get to have that same
17 feedback from the end-use consumer, so I appreciate that
18 perspective.

19 MR. SPRAGUE: I was just going to say, and this
20 is probably different across lease providers but,
21 essentially, if that fund structure or the servicer
22 doesn't -- if it breaks its obligations, right, it stops
23 maintaining the system, sort of the remedy is you
24 basically own the system.

25 So, like you pay less to begin with if the

1 provider doesn't satisfy their side of the contract
2 then, you know, then the remedy is essentially, at least
3 in our contract, is that you have a right to the
4 remaining ownership of the system.

5 So, you know, your worst case is you become the
6 cash owner, right? So, it's not a bad deal.

7 COMMISSIONER PETERMAN: Thank you. And you've
8 brought up something that more pertains to the warranty
9 protection panel, but how to think about this topic as
10 it relates to future Guidebook revisions is -- the
11 Commission would be interested in knowing if there's
12 anything that we need to be doing within the program in
13 terms of requiring that such language exists in
14 contracts and getting a sense of how standard such
15 provisions are because we won't be privy to them, but we
16 do want our -- those receiving the incentives to know
17 what kind of the best standard of practice that they
18 should expect, as well.

19 And so it's something for more discussions as we
20 get more into the Guidebook revisions in future
21 meetings, but I just wanted to queue that up.

22 MS. BERGER: And I think that's an important
23 point when I think there's a fifth party to consider,
24 too, and that's the perspective of the mortgage lender,
25 and their perceived risk. And we've already noted that

1 there is somewhat of a resistance to the prepaid lease
2 arrangements, perhaps. Certainly, when we provide them
3 further assurance then vast more money would be leant or
4 new lending products would be created by the lenders
5 that would allow for an uptick in leases and purchases.

6 We know in the PACE world there's a huge
7 resistance to PACE financing on the residential side, so
8 we're dealing with that and trying to do what we can to
9 lower that risk for -- perceived risk for the mortgage
10 lender.

11 MR. HARLAND: That's a good point, thank you for
12 pointing that out, Sheila, the lender risk there.

13 So, we'll move on to question number four, this
14 is our last question. The current NSHP incentive
15 structures, the eligibility rules, program
16 administration; are they aligned with dominant financing
17 arrangements and mechanisms?

18 So, again, these would be the systems that are
19 financed for the mortgage, typically, or with cash, or
20 with systems that are installed using a third-party
21 arrangement.

22 COMMISSIONER PETERMAN: And, particularly, how
23 could they be better aligned. Kind of noting the
24 comments earlier, and wanting this program to -- and
25 loose comments about the financial engineering behind a

1 bit ahead of the policy, we're trying to correct that.

2 MR. WEINGARTEN: Yeah, I'll take that first.

3 You know, one of the things that -- and it's really just
4 the details in the Guidebook and I think it's ultimately
5 just something that -- you know, it's just the rules may
6 need to be revisited and just sort of aligned a little
7 bit in terms of how builders work and how leasing
8 companies work with their financing structures.

9 I think the current Guidebook doesn't have a lot
10 of clarity about builders taking leases and a lot of the
11 financing structures require -- it is a mixer of how the
12 financing structures work with just the way the builders
13 work in terms of getting paperwork signed and getting
14 solar installed early in the process.

15 Individual buyers at that point aren't
16 necessarily identified, but the tax equity funds need --
17 before they make their investment, they need to make
18 sure that the incentives have been secured.

19 And if you have builders that can't sign leases
20 and then transfer then on that clogs the wheels a little
21 bit.

22 And you have to kind of come up with some
23 convoluted structures that they work, but they are a
24 little bit more cumbersome.

25 And if your goal is to disseminate solar into

1 new-build homes, you want to strike a nice balance
2 between process to make sure that the money's going into
3 the right place, and that you're not having a grab, sort
4 of a land grab on rebates but at the same time making
5 sure that you have just the necessary structure to flow
6 those rebates down.

7 And taking a look at the eligibility rules
8 specific with builders signing leases, I think that that
9 would help the industry and just recognizing that that's
10 how this tends to work.

11 And having appropriate controls, though, at the
12 same time to make sure that builders aren't just signing
13 tons of leases just to grab rebate and I appreciate
14 that, you know, that that's something that is a concern.

15 But it's just a reality of how the builders work
16 and how the leasing companies work that leases are going
17 to have to get signed by builders and then moved over to
18 homeowners.

19 And the other thing is that -- and I think
20 across the industry you don't, particularly after what's
21 happened in the last three or four years, five years, is
22 that builders aren't wanting to put solar on homes that
23 are just spec homes. They're putting solar on homes
24 that they're planning on selling.

25 So, it's not as if they're trying to grab rebate

1 just on a speculative basis.

2 So, that being the backdrop, I think looking at
3 those -- the Guidebook and focusing on the ability to
4 take the dominant structure in the third-party market,
5 which is a lease, get that signed by the builder and
6 then move that through the system in the appropriate way
7 so that it's clear what benefits flow down to the
8 customer. That's not a problem because, ultimately,
9 that's the whole purpose of the program.

10 And then just, you know, working within those
11 structures and understanding them.

12 MR. MILFORD: I just have one comment and it
13 relates, again, to the data, you know, policy question
14 and just a suggestion that is not directly related to
15 the new home construction.

16 But, you know, given that a lot of these parties
17 obviously operate in multiple states, you know, it might
18 benefit from a multi-state conversation around this, at
19 least among the public players who I think are all
20 facing the same issues.

21 I mean I think they like this trend, they see
22 it's a good trend, but at the same time want to make
23 sure that their public dollars are well spent.

24 So, there may be some benefit in that to try to
25 figure out some data disclosure questions and alignment

1 of subsidy, and lease structure, and maybe some
2 standardization as well.

3 COMMISSIONER PETERMAN: Great. You know, let me
4 suggest that we open it up for a couple of audience
5 questions. We can go a little bit past the time, but I
6 don't want to go too far past, to keep us on schedule,
7 but we've got a break built in as well so --

8 MR. HARLAND: So, yeah, so if there are audience
9 questions there are blue cards right there by the
10 podium.

11 And please state your name clearly so that
12 our -- and the spelling of the name, yeah. Here you go.

13 MS. FOGEL: I'll do that. My name's Kathy
14 Fogel; I work at the California Public Utilities
15 Commission, in the Energy Efficiency Group, actually.

16 And I realize this question arose in my mind
17 during the last panel, where on-bill financing was
18 mentioned a couple of times by, I know, Bob, and maybe
19 some of the other panelists and I was wondering if -- I
20 realize, now, I should have asked it at the last panel,
21 but I was wondering if any of the current panelist can
22 speak to how you'd see on-bill financing or on-bill
23 repayment I guess is the better term, working with, you
24 know, prepaid leases or other financing arrangements and
25 how -- how it might work with new homes? I think that

1 would be, perhaps, a different situation than existing
2 homes.

3 Something the CPUC is looking into a lot now,
4 currently, with an efficiency focus rather than PV.

5 MR. SPRAGUE: You know, for the way SunRun works
6 with new homes, we don't -- we don't do a billing
7 arrangement, we have a prepaid lease product, so it's
8 got to be paid up front.

9 And the reason that made sense to us -- you
10 know, let me just give you a little context. About a
11 year ago we looked at -- we were in this market, we were
12 selling a low up-front product, and we had to run credit
13 on the customer, and the customer wasn't there until
14 maybe after the home was built, so you couldn't install
15 the system until you got the customer, and it looked
16 pretty much a lot like a retrofit product.

17 And we got no advantages of scale and so we
18 changed it to require a prepayment up front, which
19 allows you to sort of do it prior to home close.

20 And so because of that design change there's
21 no -- we're not billing, right, it's prepaid. So, from
22 my perspective it doesn't help me out.

23 Yeah, I can see for maybe someone else's
24 business model that might be useful.

25 I do think consumers like to move into the home

1 with everything working, the system interconnected, no
2 bill. You know, a new home with clean energy, it's very
3 appealing in not having this ongoing payment stream.
4 You know, you have one, you have your mortgage payment
5 and you get used to that.

6 MR. BRUST: This has come up several times, as
7 well, and I would just say that I think that it's an
8 interesting concept but, once again, new construction
9 and residential retrofit are completely different.

10 And so to do an on-bill finance in a production
11 home community and to be educating the consumer about
12 the choice they have for on-bill financing with the
13 local utility, and all that comes with those
14 arrangements is no easy task to bear, and so I would
15 think that that would have to be really well thought out
16 for that to work.

17 And I'd just comment on this last topic here,
18 one thing I wanted to mention is that we've maybe leased
19 a thousand homes through the New Solar Homes
20 Partnership. I think we were the first to launch a
21 lease in 2009.

22 And so we've quite a bit of experience with the
23 program and one thing that we've always -- it's always
24 been a monthly lease, not a prepaid lease.

25 And when we talk about alignment of, you know,

1 the incentive structures with the different financing
2 programs, the one thing that I would -- I think we
3 should think about is making sure that someone has skin
4 in the game.

5 And so if you can use an incentive to fully
6 prepay the lease and so, basically, the builder doesn't
7 have an out-of-pocket cost, they're getting solar at
8 essentially no cost, I -- you know, there was reasons we
9 didn't go down that road and particularly for some of
10 those reasons.

11 And so I just think that that's an alignment
12 issue that we have to think about because when a
13 consumer does get a rebate today, and they finance it,
14 they have an out-of-pocket cost for that. They're
15 making a cognitive decision to put extra money down and
16 finance money, and purchase that, and so they're more
17 apt to educate themselves around the decisions that
18 they're making.

19 So, I wanted to throw that out for
20 consideration.

21 COMMISSIONER PETERMAN: Thank you.

22 MR. NESBITT: George Nesbitt. Had I been an
23 Enron accountant, rather than bankrupting the company I
24 would have delivered it and manipulation would have been
25 incompetence or not understanding.

1 Obviously, leases and PPAs are allowing people
2 to have systems on their homes with no up-front cost or
3 very little cost, and that's certainly expanded the
4 market.

5 I may have to consider it on my house, not
6 having much cash, either.

7 So, I'm reroofing my house with no budget, it is
8 winter.

9 What I'm struggling to understand is assuming I
10 can buy a system versus leasing, or a PPA, which costs
11 me less in the long run?

12 And I'm also having a hard time looking at this
13 NSHP examples where the lease systems look like they're
14 25 percent less expensive than the purchase system.

15 And I must remind you that if I purchase a
16 system, and I have to pay out of pocket, whether it's
17 cash or finance that costs me money, too. You know,
18 there's lost opportunity or whatever interest I would
19 earn investing it somewhere else.

20 So, why would a lease be less expensive and what
21 happens at the end of 20 years.

22 MR. HARLAND: I'll clarify that the lease totals
23 on that slide you're looking at, that's the total
24 payments made on the system, so that's paying for the
25 lease. The other slide that's up there, now, that's

1 purchasing the system.

2 So, once you have -- once you've paid for your
3 lease and you've made all those payments, then you have
4 options at the end with those leases to usually renew
5 them, remove the system and upgrade the system,
6 possibly, where the purchase that's yours.

7 MR. NESBITT: Right.

8 MR. HARLAND: So, that's the difference.

9 MR. NESBITT: Right and if it breaks down I got
10 to fix it, buy a new inverter. But it's a little
11 surprising, I would have expected a lease or a PPA would
12 have cost me more money than if I bought a system.

13 COMMISSIONER PETERMAN: Kind of like a car, your
14 car lease.

15 MR. NESBITT: Yeah.

16 COMMISSIONER PETERMAN: So, maybe someone who's
17 going to be put it in that context about why it would be
18 different, maybe --

19 MR. NESBITT: Maybe my financial brain is stuck
20 in the dark ages and I don't understand this fuzzy math.

21 COMMISSIONER PETERMAN: I'm sure you're not the
22 only one.

23 MR. WEINGARTEN: No, no, I mean it's not really
24 fuzzy math or anything like that. It's simply -- I
25 mean, the car leasing example I think is the best

1 example.

2 You're only leasing the asset for the period of
3 time that -- I mean you're only paying for what you're
4 using.

5 And when you're buying it, you're buying the
6 entire life of it.

7 Obviously, at the end of the lease, at the end
8 of the 20 years you can extend your term. If they don't
9 extend the term or if the option has been granted to
10 even -- and some companies offer the option, some don't,
11 to buy it at the end of the term and if you don't avail
12 yourself of that option, then the company will go ahead
13 and remove it and then you can have a new lease.

14 Just like a car, if you continue to lease over
15 time it becomes more expensive. So, it's just a
16 financial choice more than anything else.

17 MR. NESBITT: Right, it's pay now or pay later,
18 you know.

19 MR. HARLAND: Yeah.

20 MR. NESBITT: Yeah.

21 MR. LUU: I would jump in. This is Albert.
22 Obviously, in my personal life I've never financed
23 anything. I hate the concept of finance and, yet, I
24 worked in a circuit finance department where they're
25 raising capital for these no-money-down products.

1 And I guess the way a customer looks at them is
2 they're really looking at two different things. Where,
3 with a cash product it's really they've got questions
4 when you're putting some money down today, and you're
5 going to have to really -- it's an ROI analysis of how
6 quickly do you get your money back. And then for
7 different people, they have different return hurdles.

8 But over the long run the cash number, you have
9 a better return if you're looking at like a 32-year
10 horizon.

11 The finance option is -- the nice piece about
12 the finance option, especially on a product like this is
13 that it takes care of all the ONM, maintenance,
14 production guarantee.

15 With a cash product, typically the warranty on
16 those is ten years. There's a lot of discussion on the
17 market that inverters typically fail between 10 and 15
18 years, so that's something the homeowner would be
19 responsible for.

20 In the finance product it's essentially an
21 infinite return because you never come out of pocket for
22 any up-front costs, so it's just more of a reducing your
23 electricity bill. Think of it as instead of buying SMUD
24 or PG&E, you're buying power from a solar provider who
25 is able to beat the retail rates that are being provided

1 by the utilities.

2 COMMISSIONER PETERMAN: I just have a clarifying
3 question for someone. How much are inverters going for
4 right now, for the 3- to 5-kilowatt system?

5 MR. LUU: Inverters are typically somewhere in
6 the close to 30-cents-a-watt range. So, 3 kilowatts, 3
7 times 30 cents, time 1,000 is your inverter cost.

8 COMMISSIONER PETERMAN: I'm waiting for you to
9 do the math. I have an MBA but now that I'm a
10 Commissioner I don't do math, so what does that work out
11 to be?

12 MR. LUU: It's about \$900.

13 COMMISSIONER PETERMAN: Thank you.

14 MR. HODGSON: Good afternoon, Commissioner, I
15 have a comment that I'll try to phrase in a question.

16 COMMISSIONER PETERMAN: Yeah, or you can just
17 comment as well.

18 MR. HODGSON: On question number one the
19 panelists got off into talking a little bit about
20 energy-efficient mortgages. And having worked on these
21 for a long period of time, one of the things that the
22 Federal Housing Finance Agency requires under their new
23 guidelines or their guidelines they're developing is
24 they want a uniform national platform.

25 To do that, the platform that we rate homes in,

1 in the nation, are based on the resident guidelines,
2 which are based on the International Energy Conservation
3 Code.

4 California, I understand, has Title 24, some
5 familiarity with that. It's slightly different than the
6 IECC.

7 And for California to be able to play on this
8 platform which, hopefully, we have a product sometime in
9 the spring of next year, is we're going to have to
10 either have a crosswalk or conform to those guidelines.

11 So, my question possibly to the dais or the
12 panelists is how do we get California engaged in that
13 discussion so that homebuilders and, potentially,
14 homeowners will be able to participate in Freddie and
15 Fannie mortgages, if they exist next year, on a national
16 scale

17 COMMISSIONER PETERMAN: Well, I guess I'll just
18 note, since you brought it up to us here, we've been
19 officially put on notice that this is going on and I
20 think this is the start, having dialogues like these and
21 making us aware of what these trends are, and these
22 opportunities for engagement are.

23 And if any of the other panelists have --

24 MR. BRUST: The SAVE Act, coming back to it
25 again, is basically a national program that uses the

1 same system to measure, which is based on the resident
2 and everything so --

3 MR. HODGSON: Right.

4 COMMISSIONER PETERMAN: I think we -- staff
5 would probably getting more information about it,
6 though.

7 MR. HODGSON: We keep staff informed and we'd
8 love to have them engage.

9 COMMISSIONER PETERMAN: Okay, terrific. Thank
10 you.

11 MR. HARLAND: Are there any comments or
12 questions coming in through the WebEx, online?

13 None, so does anybody else have any questions or
14 comments?

15 Are you guys good? Okay, so, yeah, Ethan, go
16 for it.

17 MR. SPRAGUE: You know, we didn't really get
18 into the program mechanics, but there were some good
19 suggestions from the previous panel about the task force
20 and allowing builders to sign leases, and generally
21 making the process more streamlined.

22 When we looked at this, when we considered new
23 home builders, they're just trying to control their
24 costs, and they're trying to make a product and solar in
25 their homes is a feature, it's not the main thing

1 they're doing.

2 And so if the price of their home, or the amount
3 of the rebate, or the cost to the customer is going to
4 change or is in some uncertainty, it makes it hard for
5 them to commit to that, and it dampens the momentum that
6 solar has in the market.

7 So, just as a general point, the simpler you can
8 make it -- you know, just talking about the financing,
9 solar is provided in a large part by a series of systems
10 that all have to work together to make something really
11 simple to a consumer who just says, you know, make it
12 easy for me.

13 And to the extent those systems that are trying
14 to support it create more bureaucracy, or overlap, or
15 confusion then they actually do some harm in that and
16 they confuse the market.

17 So, just a high level, conceptual point that,
18 you know, try and make it as streamlined and efficient
19 as possible, while still protecting the public.

20 COMMISSIONER PETERMAN: Thank you. Yeah, that's
21 a good comment to end on.

22 Eli, thank you so much, as a moderator you're
23 terrific and I'll let you wrap up.

24 Okay, so next up we're going to have an energy
25 efficiency conversation. Because we are a little bit

1 behind on time, let's do about three, four minutes to
2 try and wrap that -- to try and get that started.

3 So, if I can have the energy efficiency
4 presenter come up? And thanks to the panelists, I
5 appreciate it, and to those on WebEx.

6 MS. BERGER: Thank you.

7 (Off the record at 2:20 p.m.)

8 (Resume at 2:37 p.m.)

9 MR. HOELLWARTH: Okay, my name is Craig
10 Hoellwarth. I'm the Supervisor of High Performance
11 Buildings in the High Performance Buildings and
12 Standards Development Office at the Commission.

13 I have a few items here that I just want to
14 touch on for the people on the panel and the audience to
15 consider as we start the discussion on energy efficiency
16 as it relates to the New Solar Home Partnership Program.

17 The program really comes under the umbrella of
18 AB 32 and in that regard there's a goal to have new
19 residential construction reach zero net energy by the
20 year 2020.

21 In terms of the New Solar Home Partnership, it's
22 a type of standard which means that it has -- it
23 requires the design of these homes that participate in
24 the program to exceed minimum standards by at least 15
25 percent, and at a tier two level 30 percent.

1 And it does that like a reach standard to
2 encourage the use of new technologies, of new energy
3 efficiency strategies that aren't in common use and, in
4 general, will cost more out in the marketplace.

5 And by encouraging the use of these strategies
6 we hope to bring down their general costs so that they
7 become more cost-effective and can be adopted in future
8 energy standards.

9 As we repeat this process, we approach that goal
10 of requiring zero net energy in our new construction.
11 And it's in that light that we can talk about the New
12 Solar Home Partnership as being one of those programs to
13 help get us there.

14 A second thought is that a few years ago the
15 Commission adopted a loading order, or the State has a
16 loading order that says that we should use all cost-
17 effective energy efficiency strategies first, before we
18 use other resources, and that includes photovoltaics or
19 non-renewable resources.

20 So, first comes energy efficiency, then comes
21 the renewables, and that is the way the program is set
22 up. And in some respects that is what complicates,
23 perhaps, the nature of the program as we heard from
24 conversations that went back and forth earlier this
25 morning.

1 A third thing is that we do have past
2 experience. Now, with the program out in actual
3 practice, we're now in our fourth -- we have approved
4 our fourth Guidebook. And in that Guidebook, when we
5 approached that from an energy efficiency point of view
6 we tried to identify the various barriers that are
7 presented by having to exceed the standards in order to
8 receive a photovoltaic incentive for that cost.

9 And we've learned a lot in that process and we
10 think that we have streamlined the program from an
11 energy efficiency point of view, but there's more to do.

12 Obviously, we've heard some things this morning
13 that we should continue to work on.

14 So, I want to encourage you to make sure we
15 bring those things up and we challenge ourselves to
16 address them.

17 The fourth thing is that we have a new standard
18 that's been adopted, the 2013 standards, and they're
19 going to be more stringent, of course, than the previous
20 code and that's going to present a challenge for the
21 NSHP program because it's going to be that much more
22 difficult to meet these minimum requirements.

23 And we need to discuss what sort of impacts we
24 think this new standard might have on the support for
25 the real -- to increase the impact that the program has

1 on the residential marketplace.

2 And the fifth item, we've done some analysis of
3 the utility programs coming up, in their new version,
4 and looked at the costs of strategies to meet the
5 minimum requirements.

6 And to address those, we have our Senior
7 Engineer from our Energy Efficiency Office, Martha
8 Brook, to present that data.

9 MS. BROOK: Thank you. Can you guys see the
10 slides? I mean I know you can see them with your eyes,
11 but can you actually read them from where you're
12 sitting?

13 UNIDENTIFIED SPEAKER: We got handouts.

14 MS. BROOK: Okay, you got handouts great,
15 perfect.

16 Okay, so what we did was we looked at what we
17 expect for the 2013 standards.

18 I can't see you guys, I'm super short, I guess.

19 And what we expect for the 2013 standards, which
20 will be implemented in January of 2014 and because
21 that's a more aggressive standard we wanted to do an
22 exercise where you look at the costs of getting to the
23 15 percent and 30 percent better than that more
24 aggressive standard across various climate zones in the
25 State.

1 So, what the cost would be versus what you would
2 get as an energy efficiency incentive and a solar
3 incentive to meet that same level of energy that you're
4 saving.

5 And so that's what we did for these six climate
6 zones. And they're basically three pretty moderate
7 climate zones, Oakland, San Jose and Riverside, and then
8 more extreme climate zones. Fresno's a really good
9 example of the hot, inland valley climate zone, and then
10 we have a very hot Palm Springs, and a pretty much
11 heating dominated, cold Blue Canyon, which is basically
12 climate zone 16 which goes all the way across the
13 Sierras and down, even into the eastern part of Los
14 Angeles.

15 So, in this first slide we're looking at Tier I,
16 15 percent better than the 2013 standards. And the dark
17 blue is the cost that we expect to achieve that level of
18 energy efficiency. And the dark green is the cost that
19 it would take for a solar system to meet that same level
20 of energy savings that you're getting with the energy
21 efficiency.

22 And then on each side of those cost bars is the
23 lighter-colored blue incentive payment you would get for
24 the new construction programs that the investor-owned
25 utilities offer for their new construction programs.

1 And on the light green, on the far right is the
2 expected incentives, both the Federal Tax Credit and New
3 Solar Home Partnership Program that you would receive
4 for a solar electric installation incentive.

5 So, that's Tier I. Basically, quite a bit of
6 difference between energy efficiency costs and solar
7 electric costs for the same amount of energy savings in
8 these homes.

9 So this just demonstrates what we think is
10 really important is do all the energy efficiency you can
11 first, and then use your solar electric system to offset
12 the loads that you can't meet with the energy efficiency
13 of your building, and there's plenty of those.

14 So, you know, probably over 50 percent of the
15 energy use that's in these new residential homes are
16 things that we add to the house after it's been
17 constructed. So, major appliances and plug loads make
18 up the dominant share of energy use in the residential
19 construction in the State.

20 So, Tier II is very similar, but more extreme.
21 So, this is now 30 percent better than the 2013
22 standards, which is very energy efficient. And you can
23 see that the costs, you can still achieve this level of
24 energy efficiency with, you know, about between \$1,000
25 and \$3,500 of energy efficiency.

1 And your incentives for that energy efficiency
2 offset that cost to a pretty good degree.

3 And then, again, the green is the cost and the
4 incentive you would get with a solar system to meet that
5 same level of savings in your home.

6 And if there's any questions about that, should
7 I take them now or --

8 COMMISSIONER PETERMAN: Actually, I have a quick
9 question, a clarifying question just because I'm not as
10 well-versed in the energy efficiency side.

11 The energy efficiency incentives, can you just
12 speak to what the source of that incentives are, is that
13 customer rebates, as well as the CAP Program or --

14 MS. BROOK: So, that is the investor-owned
15 utilities' New Construction Program, California New
16 Homes Program. And these are basically the current
17 incentives. So, we expect that these incentives will
18 actually, probably be a little bit higher in the future
19 than they are now, but we thought for this comparison we
20 should use the current incentives, both for the
21 efficiency side and the solar side to our best
22 information.

23 MR. BRUST: Factoring the gross cost or the net
24 cost?

25 MS. BROOK: So, that's the cost based on the

1 current six -- it's the cost we used were \$6.86 per watt
2 for a PV system.

3 COMMISSIONER PETERMAN: So, it's not net cost,
4 to your point. I think it's a pre-subsidy cost.

5 MS. BROOK: But see, the subsidies are the light
6 green and so if you look at the difference between those
7 you can tell that the difference is still much larger
8 than the difference between the two blue bars.

9 So, it's gross cost on both sides and then
10 incentives separately calculated.

11 COMMISSIONER PETERMAN: And just a clarifying
12 question, as well, because I mean I think the number
13 that would be useful to see on this is what the total
14 kilowatt hours that's captured is?

15 MS. BROOK: Uh-huh, yeah, we have that and it
16 varies significantly across those climate zones.

17 COMMISSIONER PETERMAN: I see.

18 MS. BROOK: But we can provide that to you and
19 your decision-makers, you know, as soon as you need
20 them.

21 COMMISSIONER PETERMAN: Thank you. Sorry, Matt,
22 I think you might have had a follow-up question and I
23 just wanted to get that one.

24 MR. BRUST: I just think the pricing and
25 modeling assumptions in here are extremely important and

1 when you're trying to offset a system side that may be
2 very small, the price of the PV system per watt changes
3 dramatically. The production of a system is
4 dramatically changed based on the inputs that you use.
5 So, I'd just --

6 MS. BROOK: So, what we did for the production
7 is actually used our CECPV calculator to calculate the
8 KWH per KW that's expected in every climate zone, so
9 that's how we transferred from KW to KWH to meet that
10 efficiency savings.

11 COMMISSIONER PETERMAN: Come on up.

12 MS. FOGAL: I think, based on our conversation
13 last week, I would guess that these efficiency
14 incentives are modeled without the kickers. There are
15 about six kickers that have been offered for the last
16 three years, so that --

17 MS. BROOK: So, this actually includes the KW
18 reduction kicker for both Tier I and Tier II, and it
19 includes the NSHP additional kicker for Tier II. So,
20 it's the current incentives.

21 But probably not, like you said, all of the
22 different six variations of incentives that are offered.

23 COMMISSIONER PETERMAN: Yeah, Mike?

24 MR. HODGEN: It's 30 percent of this particular
25 slide of the regular --

1 MS. BROOK: It's the same, exactly the same
2 savings, yeah.

3 COMMISSIONER PETERMAN: I guess I would ask and
4 add more that this shows the equivalent savings. I
5 would be interesting if you all had modeled what the
6 optimal mix is.

7 MS. BROOK: Well, I'm sorry, I don't understand
8 the question.

9 COMMISSIONER PETERMAN: Well, kind of getting a
10 little bit to Matt's point around the assumptions around
11 the system size that's assumed and also economies of
12 scale in terms of when you would -- one might employ --
13 ignoring policy for a second, there are times when you
14 want to use energy efficiency and times you want to use
15 PV. And so just kind of following up on that you
16 wouldn't normally -- you wouldn't have these two as
17 equivalencies, but I assume you might start with the
18 energy efficiency first and then --

19 MS. BROOK: Right, but if the question on the
20 table is why do we have to do efficiency before we do
21 solar, then we're trying to illustrate why, because you
22 can use -- I mean the solar that you install is going to
23 go to other parts of the home's energy consumption,
24 right, so why not do -- why not do efficiency which is
25 much cheaper, so what you can do efficiency with and

1 then focus the solar -- you know, reduce the size of
2 your solar and really just meet what you can't meet with
3 efficiency, which is plug loads and appliances, with
4 your PV system.

5 So, I guess what you're saying is the lower you
6 can get the size of your PV system, the more cost-
7 effective it's going to be for the consumer who has, you
8 know, so --

9 MR. BRUST: Did you look at when we take the EE
10 measures apart and then I would argue that at \$6.80 a
11 watt is -- you know, that's two years ago.

12 But at what point does that PV price cross the
13 line and become -- fall within the stack of energy
14 efficiency cost-effectiveness?

15 Because when you've got probably other measures
16 carrying other measures in this analysis because it's a
17 composition of seven, or eight, or nine different
18 things, some more cost-effective than others. Where
19 does it come in the loading order, where does it fall in
20 there at different price points?

21 MS. BROOK: So, you mean where does each
22 efficiency measure fall in the loading order or do you
23 mean what -- at what cost point for per-watt of the PV
24 system is it the same as efficiency. We could
25 definitely do that.

1 MR. BRUST: Yeah, do you look at the cost-
2 effectiveness at each measure and then at different cost
3 points where does PV then start to fit into that stack?

4 MS. BROOK: Yeah, we could definitely, with the
5 data that we used for this, I mean immediately tell you
6 what the cost point is for solar that meets the
7 efficiency costs. If that's what you're asking, that's
8 readily available.

9 MR. BRUST: But I think it's also going to the
10 measures, as well. I mean this is like a whole building
11 concept right here. Your measures to get to 30 percent
12 is multiple energy-efficiency measures --

13 MS. BROOK: Right.

14 MR. BRUST: -- that measure the different cost-
15 effectiveness of each.

16 Understanding it's a whole building approach but
17 --

18 MS. BROOK: Right.

19 MR. BRUST: -- at some point -- I would think
20 that at some point the --

21 COMMISSIONER PETERMAN: Marginal one, uh-hum.

22 MR. BRUST: Yeah, because costs have come down
23 so much more dramatically than what is modeling here,
24 you're going to -- I believe you're going to start
25 finding that it's more cost-effective than some energy-

1 efficiency measures that would be in --

2 MS. BROOK: Well, obviously, we picked -- we
3 didn't pick the most outrageous energy-efficiency
4 measures, we picked the most cost-effective ones that
5 met this -- that met this demand reduction.

6 We're trying to make the best choices for the
7 consumers, right, so we're trying to say these are
8 very -- you know, these are going to be in future codes,
9 so these are very, you know, buildable, constructible
10 measures. And then we've just basically added up the
11 cost of those to meet this blue bar here.

12 COMMISSIONER PETERMAN: So, let me -- Matt, you
13 probably have a follow up, so you can do that, but speak
14 into the mic so people on WebEx can hear. And then
15 Commissioner McAllister has a question. I think we've
16 got a clarifying question from Dan and then let's move
17 to the panel. And we're wrapping up because I think
18 this dialogue will continue in a couple minutes with
19 Martha sitting down.

20 MR. BRUST: My last question I would ask is
21 where does TDV or the time dependency fall into this?
22 Is this just an energy analysis or because we know
23 certain energy-efficiency measures with today's utility
24 rate schedules and things like that provide different
25 financial benefit? So, is that figured in any of this

1 work?

2 MS. BROOK: So, this is the -- the percent
3 better is a TDV metric, so it's percent better of time
4 dependent valuation of energy.

5 But the incentives that were calculated for the
6 efficiency are based on KWH and therm savings. And that
7 there's also that one of the kickers is a KW reduction.

8 So, the incentives have KW, KWH and therm
9 components to it that were all included here.

10 COMMISSIONER MC ALLISTER: So, yeah, I'm glad to
11 finally make it over here. I've been away to a program
12 today, so I really wanted to be in there as much as I
13 could, so thanks for inviting me.

14 So, I guess I'm a little surprised by this graph
15 because I think -- well, so there's clearly a lot of
16 variation from climate zone to climate zone in the
17 amount of energy that represents the 30 percent better
18 than the 2013 standard.

19 MS. BROOK: That's right.

20 COMMISSIONER MC ALLISTER: And I guess I'm a
21 little surprised that, say, that amount of energy is
22 less in Riverside than it is in Fresno or, you know,
23 Oakland/San Jose.

24 So, I guess I'd like to sort of hear the
25 characterization of the typical house, the prototypical

1 new home, I guess, in each of these in terms of square
2 footage, and energy consumption, and stuff that gives
3 rise to a relatively low amount of energy representing
4 compliance with Tier II in Riverside, for example.

5 MS. BROOK: So, it's all the same prototype,
6 it's a 2,100 square foot house.

7 And the -- it's basically the measures that get
8 to 30 percent are, you know, in mostly water heating and
9 space heating for Oakland and San Jose, which have
10 pretty minor, relatively speaking, cooling loads.

11 And then in Riverside, what works really well in
12 Riverside is a -- for Tier II is an insulated roof deck,
13 which helps on both the heating and the cooling loads
14 significantly.

15 And so that's why a 30-percent-better-than-2013
16 has a pretty minor energy usage overall because you're
17 really bringing down the loads of that building
18 significantly by really making significant improvements
19 in the envelope.

20 And then when you move into Fresno and Palm
21 Springs you have to do -- well, Palm Springs, it's all
22 cooling. So, you're doing an insulated roof deck to
23 bring down the cooling loads. You're maximizing the
24 envelope and then also additional, higher efficiency on
25 the cooling equipment for Palm Springs.

1 COMMISSIONER MC ALLISTER: So, the way I'm
2 looking at this graph, I'm really -- I guess I'm looking
3 at it -- based on the conversation up to now I'm looking
4 at the PV, the dark green bar is essentially a proxy for
5 energy.

6 MS. BROOK: Well, no, that's -- the cost of
7 energy is really the blue bar and energy, itself, isn't
8 on this slide.

9 COMMISSIONER MC ALLISTER: No, that's what I
10 mean. But if you use the same price for the PV -- well,
11 I guess you're modeling it according to the climate
12 zones so it's going to vary a little bit.

13 MS. BROOK: Well, and the reason that Blue
14 Canyon just leaps up there on the green line is that
15 it's a heating-dominated climate and I mean it --

16 COMMISSIONER MC ALLISTER: Absolutely.

17 MS. BROOK: So, you have just this huge amount
18 of heating that, you know, that it takes a lot of
19 electricity to provide heat to homes. And so that's
20 really why that jumps up there like that.

21 COMMISSIONER MC ALLISTER: Yeah, okay. Yeah, I
22 was just a little -- so, based on this it's basically
23 Riverside has lower consumption overall for the
24 prototypical new home than any --

25 MS. BROOK: But so these are just -- you know,

1 we could have picked -- like it's like San Diego,
2 climate zone 7, would come in under Riverside, so
3 there's -- this isn't like the whole --

4 COMMISSIONER MC ALLISTER: No, for sure, but
5 it's the climate with the lowest energy consumption --

6 MS. BROOK: We tried to pick representative ones
7 where there's a lot of activity in this construction
8 market, and where there's been activity in the New Solar
9 Home Partnership Program.

10 MR. PENNINGTON: So, Bill Pennington, I wanted
11 to comment on your question. One thing that may not be
12 intuitive about this chart is that in more severe
13 climates these measures are more powerful in saving
14 energy, and so the cost stays the same in this chart
15 because you're using basically the same measures, but
16 they're more powerful.

17 MS. BROOK: Yeah, sorry, that's right, right.

18 MR. PENNINGTON: And so the equivalent to
19 produce that energy through a PV system is bigger.

20 MS. BROOK: And we can definitely, if it helps
21 you for your record and your work going forward, we can
22 provide the energy that lies behind all these costs, and
23 that sounds like it would be very helpful to you.

24 COMMISSIONER MC ALLISTER: So, it looks like
25 there's one kilowatt hour number, like say the annual

1 consumption of the prototypical new home, for example,
2 that you could just put one number over each city and
3 that would be helpful to have as reference.

4 MS. BROOK: Okay, thank you.

5 COMMISSIONER PETERMAN: Dan, did you have a
6 question about the presentation?

7 MR. CHIA: This slide.

8 COMMISSIONER PETERMAN: Okay, go ahead.

9 MR. CHIA: Just a quick question and I'll say at
10 the outset that we need it all. but is there any data
11 that actually compares the durability or longevity of
12 savings between the two resources?

13 MS. BROOK: Not that I know of so --

14 MR. CHIA: Dan Chia, with SolarCity, C-h-i-a.

15 MS. BROOK: Yeah, most of the measures that
16 we're using here to get to this level are envelope
17 measures so they're -- you know, we consider them very
18 durable. We use a 30-year life for the measures when we
19 do our cost-effectiveness analysis.

20 COMMISSIONER PETERMAN: I've not heard that
21 question before so that's an interesting question, and
22 something that as we continue together and thinking
23 about these EE goals will be important to do.

24 Mr. Tutt?

25 MR. TUTT: Tim Tutt, with SMUD. I think there's

1 no doubt from the figures, as modeled, that engaging in
2 energy efficiency is less expensive per kilowatt hour at
3 present. Matt, no doubt, has indicated solar costs are
4 coming down and that equation may change in the future.

5 All things being equivalent, you might want to
6 do as much energy efficiency as you can.

7 But the question I think that is missing -- two
8 questions I think are missing. If you -- depending on
9 your program structure you can actually complicate
10 things enough that people don't do either energy
11 efficiency or solar, so you might be losing some
12 savings. And you have increased transaction cost and
13 that cost is not included in those charts, so I just
14 wanted to mention that.

15 COMMISSIONER PETERMAN: Thank you.

16 All right, let's move on to the panel, please.
17 Thank you, Martha.

18 MR. NASIM: Good afternoon everyone, my name's
19 Farakh Nasim. I work in the High Performance Buildings
20 Office here at the CEC. I'm going to be the moderator
21 for this Energy Efficiency Panel.

22 I'll go ahead and introduce the four panelists,
23 three of whom have done at least one other panel today.

24 So, Jacob Atalla with KB Homes, Bob Raymer with
25 CBIA, Mike Hodgson with ConSol, who is our new panelist,

1 and Matt Brust with SunPower.

2 If we could have each of you just briefly
3 reintroduce yourself, and state a little bit about your
4 background and any work you've done in efficiency
5 throughout your careers. And we'll start with Jacob.

6 MR. ATALLA: Thank you. Jacob Atalla, Senior
7 Director of Sustainability with KB Homes -- KB Home, I
8 should say. I'm an architect by education. And we have
9 been focused on energy efficiency since the early 2000s,
10 started building Energy Star labeled homes at that time.

11 And we currently have over 74,000 Energy Star
12 certified homes.

13 Energy efficiency is important to us because it
14 lowers the total cost of ownership for our customers and
15 that's very important, became more important in the last
16 few years.

17 And we also have taken a step into building zero
18 net energy homes in a quantity of nine homes so far,
19 across the country, to basically understand these homes
20 and how we can start transforming our product line for
21 the future towards 2020 and beyond that. I'll leave it
22 at that.

23 MR. RAYMER: Thank you. I'm Bob Raymer, Senior
24 Engineer and Technical Director of the California
25 Building Industry Association. I have been representing

1 CBIA at the local, state and national level for the past
2 31 years. I have been involved with the updates to the
3 energy regs since, of course, 1981.

4 One of the huge issues that we've been looking
5 at with recent updates of the standards, and then the
6 next two updates of the standards, will be doing our
7 best to help the transition from one set of regulations
8 to another. That involved a lot of field work,
9 education and training, but it also requires us to take
10 a hard look at what changes are being made to the
11 standards, what changes in common design practice are
12 occurring and the up-front costs.

13 We automatically assume that these features are
14 going to be cost-effective, but we're also looking at
15 the up-front cost and to the extent of which that can
16 somehow be moderated. Thank you.

17 MR. HODGSON: Good afternoon, Commissioners, I
18 apologize for not introducing myself last time. I'm
19 Mike Hodgson from ConSol, and I'll turn my microphone
20 on.

21 COMMISSIONER PETERMAN: Just so everyone else
22 can hear you. Say that one more time.

23 MR. HODGSON: Okay, I'm Mike Hodgson from
24 ConSol. My background is we -- ConSol makes buildings
25 more efficient. We do a lot of program management, as

1 well as representation of trade associations.

2 Most relevant to this discussion today is we're
3 managing a few utility programs in the southwest that
4 make buildings very much more efficient, near zero.
5 We've built a few hundred homes in the last two years
6 that are somewhere between a HERS score of zero to 12 in
7 the production environment.

8 So, we're trying to promote efficiency, as well
9 as renewables in a combined package that can be
10 delivered and sold to the consumer.

11 MR. BRUST: And once again I'm Matt Brust. I'm
12 the National Sales Director with the New Home Division
13 at SunPower. We work with the U.S. Top 25 National
14 Homebuilders and also large regional homebuilders to
15 incorporate both solar and energy efficiency, really,
16 into their homes as a turnkey system offering.

17 I've been here for six years in this division,
18 and prior to that I spent 12 years as a consultant to
19 the utility industry, mainly working in DSM or demand-
20 side management in energy efficiency programs. And,
21 actually, the last three years I was there I was the
22 program, the statewide program manager for the Energy
23 Star New Homes Program where I spent quite a bit of time
24 interviewing, and talking, and understanding the Energy
25 Star Program and how that worked with homebuilders.

1 Then, to take my career to the next step which
2 was to actually begin working with homebuilders in
3 sales.

4 And, you know, as I mentioned earlier, we're at
5 this 10,000 mark now, so over the past five or six years
6 we've reached 10,000 new homes. Every one of these
7 homes has included energy efficiency to 15.

8 And I think if you went back into the databases
9 and actually looked you would find that the New Solar
10 Home Partnership and the strategy of selling energy
11 efficiency with solar as a package to the homebuilder,
12 which is ultimately sold to the consumer, has turned out
13 to be very successful and that probably more of your
14 Tier II homes come with solar than Tier II homes that do
15 not.

16 And I think that, you know, we took on a big
17 education process of working with the homebuilders, and
18 learned a whole lot from the days of talking to them as
19 an evaluator to working with them, you know, in their
20 offices and actually doing deals and building systems.
21 So, that's my background.

22 MR. NASIM: Okay, so we're a little bit behind
23 schedule so I'll go ahead and get started with the first
24 question for the panel.

25 How does solar, combined with energy efficiency,

1 help California achieve its zero net energy goals.

2 MR. RAYMER: I'll be jumping in on question two,
3 so I really don't have much to add, other than they both
4 work. I mean you need both for zero ZNE.

5 MR. NASIM: Yeah, I mean I guess maybe a follow-
6 up question is are there -- what kind of a balance do we
7 need to meet? Is there a balance or is that something
8 that --

9 MR. RAYMER: I think there is, but I think the
10 challenge that we have to meet in a very short order is
11 getting industry, and I mean the subcontractors, whether
12 it's the roofers or the solar installers, the
13 electricians, we have tens of thousands of workers who,
14 as I mentioned during this morning's session, are just
15 now coming back to the construction industry, as well as
16 the plan checkers, and inspectors.

17 We need to get them all familiar with solar
18 before 2020.

19 So, to the extent that we can get solar going
20 in, and I realize we have a loading order, but there's
21 also a huge benefit to gaining familiarity with an issue
22 before it becomes an absolute mandate.

23 And so to that I think -- I don't want to say
24 you'd think outside the box, but we need to be accepting
25 the fact that that chart, that Martha was showing,

1 indeed shows that there may be more cost efficiencies to
2 doing efficiency first, and solar second. But there's
3 also a huge benefit to industry in general and doing the
4 right by 2020 to learn how to do it now and in the next
5 few years. So, that's kind of a balance situation
6 there.

7 MR. HODGSON: I would agree, Bob, I think solar
8 is essential to getting net zero, if that's the
9 direction that we're trying to go.

10 The chart definitely demonstrated energy
11 efficiency is more cost effective than solar at this
12 time. But I think a really interesting dissection of
13 that chart is where is the crossover, which I think is
14 one of the questions Matt was trying to address. You
15 know, is it at \$4.00 a watt that solar is now more cost-
16 effective than its efficiency?

17 Where is energy efficiency at peak load more
18 cost-effective, or where's solar more cost-effective
19 than energy efficiency?

20 I think the --

21 COMMISSIONER PETERMAN: Mike, I'm going to ask
22 you to pull your mic just a little bit closer.

23 MR. HODGSON: Sure.

24 I think we all can agree that we have a long
25 ways to go on the envelope, still. There are advanced

1 building constructions where we're building homes
2 probably 50 to 60 percent more efficient than current
3 code. To do that it's fairly expensive, it's not cost-
4 effective to the production home builder.

5 But as Bob mentioned, if we don't learn how to
6 do that now, and if we don't learn how to do it and
7 integrate solar, in six years where we're trying to get
8 to net zero, we really need that educational process.

9 The construction industries are not quick
10 learners, we know that. They're a trade association, it
11 takes a long time to change and so we need to expose
12 them to things.

13 But we have mentioned solar and I apologize, I
14 was not participating this morning but, you know,
15 there's a lot of different solars that we can look at.
16 There's solar hot water, there's solar PV, there's space
17 cooling that we can do, there's space heating.

18 And some of the integrated systems I think
19 should also be looked at because those are some of the
20 most interesting technologies personally I've seen that
21 help us get down to near zero.

22 COMMISSIONER PETERMAN: So, I appreciate the
23 observation, too, or acknowledgement there's different
24 types of form of PV. Because, you know, we were talking
25 in the previous chart about providing everything by

1 electricity and that may not always be the most
2 efficient renewable to balance, so I appreciate you
3 mentioning it.

4 MR. ATALLA: Commissioner, I think I want to
5 make -- put out a caveat here that the nine homes we
6 built are across the country. Therefore, a lot of the
7 numbers that I'm going to mention are related to -- when
8 I say HERS, it is the National HERS Index Score, not the
9 HERS California, HERS II. So, forgive me for that.

10 But to the point of the initial presentation,
11 energy efficiency has a role in building zero net energy
12 homes. And, granted, but also to Mike and Matt's point,
13 where is the crossover?

14 Currently, as prices of solar drop we got to
15 continue to have a dynamic conversation about where is
16 the crossover?

17 In the meantime, for us as a builder, KB Home,
18 putting a standard for our divisions across the country
19 to build net zero homes, we are looking at HERS score of
20 roughly about 45, between 50 and 45. That's where we
21 look at in reducing, where we put energy efficiency up
22 to that point before we add solar.

23 And in most cases the solar then is roughly
24 about five, six kilowatts, in most cases.

25 We've had it where in some extreme climates it

1 goes -- like Colorado, it goes to nine kilowatts for
2 just that -- from 45 down to zero.

3 But in California I think we're blessed with a
4 better climate than that and I think we can be in the
5 five to six kilowatts.

6 So, there is room, with the reduce before you
7 produce kind of mantra there is room for both of them to
8 live together.

9 Where is that point? Is it a HERS 45? Below
10 that? That's a dynamic conversation based on market
11 numbers.

12 And we are -- you know, for that matter we're
13 not just encouraging our solar partners and trade
14 partners, as well, but also the insulation people and
15 the windows people to continue to bring the price down.

16 And whoever, you know, brings the better price
17 down, whether it's energy efficiency or solar we'll
18 take -- you know, will go into that dynamic equation.

19 COMMISSIONER MC ALLISTER: Can I ask a question,
20 actually, on that point? Now, I'm interested as a
21 builder, are you making different technology choices,
22 particularly for your mechanical systems, when you start
23 to really go aggressive on -- you know, towards the zero
24 net energy?

25 So, I guess one example of that would be would

1 you go with, you know, some kind of heat pump technology
2 or, you know, an electric technology over a gas
3 technology if you're -- I imagine it might depend on how
4 you're defining zero net energy.

5 But I guess if you could shed some light on sort
6 of the decision-making process as you design a building
7 with an eye towards ZNE that would be great.

8 MR. ATALLA: Yes, definitely, we are making part
9 of the energy efficiency measures to take the house --
10 all our homes are built to the Energy Star guidelines,
11 so they all get Energy Star certification. And roughly,
12 we then for any net zero energy home what we do is take
13 it from that level down to about 45.

14 So, in national numbers for us that translates
15 from about an average HERS score of 68 down -- we need
16 to take it down to 45. And we're doing that with --
17 starting with the envelope, more efficient envelope.

18 Second, we go to the mechanicals, definitely do
19 better mechanicals. So, if Energy Star requires 14 SEER
20 air conditioning we go to anywhere from 16 to 19 SEER
21 for air conditioning.

22 And we are working with other technologies to
23 help with that.

24 And in terms of the mechanical improvements, we
25 also put in solar to the point that solar is more than

1 PV. Part of our reduced measures is the solar thermal,
2 so reducing the load of the water heating in the house
3 through solar is part of how we get to 45 before we
4 start putting PV on the system -- on the home.

5 COMMISSIONER MC ALLISTER: Okay.

6 MR. BRUST: So, a quick comment and then I
7 actually have to excuse myself for another meeting, so I
8 apologize.

9 But from a slightly different perspective and
10 having spent a lot of time in the sales offices where
11 the consumers walk through and look at the different
12 floor plans, and models, and make the buying decisions
13 to actually purchase a home, the combination of energy
14 efficiency and solar has been, I think, really, really
15 important because it's a story that we teach the sales
16 people to tell.

17 KB Home does an incredible job of telling the
18 story with their marketing, and the EPG labeling of the
19 home, and explaining the bill. And in doing so, you
20 have to explain all of the things that you've done
21 differently for that home to make it perform better.

22 And then what you find is at community scale
23 people start moving into these homes and they're
24 actually performing -- the performance is exceeding
25 their expectations. And so now they're talking to their

1 friends and their neighbors. And the reason I think
2 that's a really important point to make because to
3 really get to net zero I think it's going to take more
4 than just policy. It's going to take some sort of
5 demand in the market to say we want these, we're willing
6 to pay for them and buy them.

7 MR. ATALLA: And so by marketing these things
8 together is having -- building momentum for that sort of
9 thing.

10 COMMISSIONER MC ALLISTER: I think that's a
11 great point. So, the point you just made, actually, you
12 could say the same thing or something very similar about
13 existing home that's in some ways, something very
14 similar about existing homes.

15 And that's, in some ways, even more of a
16 conundrum as far as how we, you know, develop the
17 marketplace for those things and what people will be
18 looking for and then how to express it to their friends
19 and neighbors to build the marketplace. So, I think
20 that's a great point, actually.

21 COMMISSIONER PETERMAN: You know, since you've
22 served on three panels, you're free to go.

23 MR. BRUST: We do what we've got to do.

24 COMMISSIONER PETERMAN: Thank you very much, we
25 appreciate it. And that goes for -- just I'll say a

1 heads-up in case people start to leave, you know, we've
2 gotten great participation from the solar industry,
3 builders and the whole lot today, and we really
4 appreciate it.

5 We know this is not your primary job, but you
6 really help keep us informed and looking forward to
7 continuing to work with you all going forward.

8 MR. NASIM: So, we've kind of moved on into
9 question two which was, basically, what energy
10 efficiency measures should be considered before
11 installing solar on a new home?

12 And Jacob did mention the way KB Home makes that
13 determination, envelope the mechanical and solar
14 thermal, even.

15 But I wanted to ask the other panelists if
16 they're -- would you agree that's a way that works or
17 there's something else that we should consider before
18 putting in PV?

19 MR. HODGSON: I think the thought process that
20 Jacob just explained is very similar to what we do with
21 our production builders who we're trying to push in an
22 incentive program to go substantially beyond code.

23 In general, in the southwest, you know, we build
24 very similarly from Riverside over to Arizona. There is
25 a very good wall system, already, we have one-coat

1 stucco, with foam on the walls. And that's not
2 necessarily for energy efficiency, but very nicely it
3 works with energy efficiency.

4 So, our R-21 to 22, 23 wall system is already
5 there. The question is whether you're going to go 2-by-
6 4 or 2-by-6 framing, and that's really a cost issue.

7 The thing that we have, the biggest problem with
8 convincing builders is we put our mechanical systems in
9 the attic for some reason. I actually know the reason
10 why we do that. But realize when we're in the southwest
11 and we have our mechanical systems in the attic it tends
12 to be a little warm up there.

13 So, we have to figure out how to get them to
14 reduce attic temperature. We've been doing that with
15 some of the spray foam technologies, with some of the
16 cocoon technologies.

17 We're wondering about the longevity of some of
18 those things, but they're very interesting.

19 But that's really the hurdle that we see is how
20 to get that attic to be semi-conditioned or conditioned
21 and reduce the temperature in the southwest from 150
22 degrees down to 80s or 90s.

23 After that, then it's the mechanical system.
24 You can go up in efficiency very quickly. What's
25 difficult for the production building is to understand

1 that they should right size correctly, and that they
2 will not be sued over having a smaller box than the
3 neighbor which, unfortunately, the market. It's more
4 outside of California right now, than happening in
5 California and I don't know why, but it is a fairly
6 active issue.

7 MR. RAYMER: We have more lawyers.

8 MR. HODGSON: Well, but Las Vegas is the cleaner
9 king of lawsuits right now on construction defect and
10 one of the major issues is comfort, which has nothing to
11 do with actual comfort, it has to do with the size of
12 your mechanical system.

13 Other than that, it's -- you know, then you get
14 to the window systems and DOE has a high-performance
15 window, technologies that they have guidelines for,
16 which are more stringent than Energy Star. Those are
17 coming into the market, now, and we're beginning to spec
18 those on a production basis and so that's very useful.

19 After all of that, I agree with Jacob, we get
20 somewhere in the high 40s as a home on a RESNET HERS
21 score, and from that we end up with about 5 KW solar.
22 You know, depending on if we have the roof space.

23 The concern I have going forward is as the
24 market picks up lot prices are going to appreciate and
25 we have a lot of product out there, a lot of volume of

1 lots, but that's going to, I think, be done in the,
2 hopefully, short term, three to five years.

3 And then we're going to get smaller and we're
4 going to go vertical. And as we start to go vertical,
5 from two stories to three stories, my surface area to
6 get that 5 KW diminishes, my shading ratios become much
7 more difficult. And I think that's going to be an
8 interesting issue that we're going to have to deal with,
9 which we don't have any solutions for right now because
10 we really don't have that mix, except in an urban
11 environment where it's pretty much impossible to put 3
12 KW on your roof, regardless of 4 or 5.

13 MR. RAYMER: Okay, I'll jump into this and I'm
14 going to try to fly through it. I could probably spend
15 a couple of hours where we would like to see things go
16 for 2016 to 2019 but --

17 COMMISSIONER PETERMAN: You can always file
18 written comments, as well.

19 MR. RAYMER: I will just -- later. Okay, kind
20 of kicking things off right here, the direction that we
21 would like to see the Energy Commission head for the
22 2016 to 2019 energy efficiency update is plug load
23 appliance efficiency and plug load.

24 Obviously, there are things we can do to the
25 envelope, a lot more things we can do for the envelop in

1 the HVAC systems.

2 But as the Heschong-Mahone report, *A Road Map to*
3 *ZNE*, that was released last week, the draft report I
4 might add, indicated that for each new increment of
5 energy efficiency, because we've already kind of picked
6 the low-hanging fruit, it is getting a little bit more
7 costly to get that next increment.

8 And considering the fact that about 55 percent
9 of the energy used in a home today, a new home, is
10 related to appliance efficiency/plug load, to the extent
11 that we can use the Energy Efficiency Standards to set
12 up strategies for dealing with appliance efficiency and
13 plug load that would be very helpful.

14 Reducing the overall energy use of the home gets
15 the PV system size down, which gets the cost down, and
16 ultimately helps us get to our goal for 2020.

17 I realize that's a lot easier said than done and
18 that we obviously don't want to run afoul of Federal
19 stipulations of what minimum compliance efficiencies
20 are, but there are a host of things you could do in the
21 efficiency regulations that could provide compliance
22 credit for doing this, that and the other.

23 And that would certainly be one of the things
24 we'd like to investigate over the next three years, how
25 can we somehow provide compliance credit for a variety

1 of plug load strategies, systems, technologies, et
2 cetera, and appliance efficiency that doesn't run afoul
3 of Federal requirements, but gets industry familiar with
4 these technologies, gets the subcontractors familiar
5 with this technology so that by the time we get to 2020
6 it's understood.

7 This is a strategy the CEC's been using for
8 decades, simply putting something in compliance credit
9 and eventually going for it as a mandate down the road.
10 It's a good way of working it in, making the transition
11 as smooth as possible.

12 Another area we'd like to see the CEC
13 investigate, which you've already done for the 2013
14 standards, and that is energy efficiency credit for
15 solar.

16 With the 2013 standards there will be some
17 limited amount of credit for, I believe, the air
18 conditioning load relative to climate zones 10 through
19 15.

20 To the extent that we could apply this down the
21 road on a statewide basis, once again I realize energy
22 efficiency is at this point, as Martha's graph shows,
23 more cost-effective than the solar, the point is we've
24 got to get thousands and thousands of people familiar
25 with this technology and how to install it, how to

1 basically plan, check, inspect it.

2 And this is certainly one of those ways that we
3 can incentivize it without necessarily having a direct
4 exchange of money from the State to either the solar
5 company or the builder so, once again, incorporating
6 that into the Energy Efficiency Regs is good.

7 In terms of the constraints that are out there
8 and there are quite a few that are going to make things
9 difficult, we have physical and technical barriers.
10 Rooftop space for PV panels, as a rule of thumb we need
11 approximately 100 square feet for each KW PV panel.

12 The problem that we're seeing, as Mike alluded
13 to, over the last three to four years we've seen a
14 rather significant design change of residential
15 construction where we used to have single-family
16 dwellings located on relatively large lots, that's
17 changed drastically.

18 We've made a significant move towards high-
19 density single-family homes, where we're now seeing the
20 one-story, ranch style home on an individual lot
21 becoming definitely the minority of the designs.

22 I might point out that that was the design used
23 by the Heschong-Mahone Group in looking at the cost-
24 effectiveness of solar, recently.

25 They looked at a 2,100 square foot home, it was

1 single family, had lots of rooftop space for solar.

2 When you go to two stories, and especially for
3 the three story, you've drastically reduced the overall
4 amount of square footage on the roof and so we've got to
5 be very careful with the next point, with the roof
6 penetrations and the obstacles.

7 In the Central Valley we're going to be moving
8 towards the whole-house fans, but we're also putting
9 about double the amount of penetrations for venting into
10 the roofs. We've got to basically teach industry to get
11 them on the north side of the roof, okay, and that will
12 be something that probably over the next couple of years
13 we sort of calmly feed to the designers who, in turn,
14 put that into the product, but they need to move very
15 quickly in doing this.

16 We've also got to be cognizant of fire safety
17 clear space. The Energy Commission has been working
18 with the Office of State Fire Marshal to address these
19 issues but we once again keep running into local
20 programs, where the local fire department, who can
21 pretty much blackball a project after it's built, you
22 know, before you can final occupancy. You don't like to
23 see the fire chief come out and say, oh, that's a
24 problem.

25 We need to get the fire chiefs throughout the

1 State onboard with the goal of getting to zero net
2 energy; coming in after the fact and effectively holding
3 up a product from going forward to the homebuyer can be
4 very difficult.

5 And as I've already mentioned, we need to do
6 ongoing education and training. This is an issue that
7 I've discussed at great lengths with Commissioner
8 McAllister.

9 But it goes without saying, as industry starts
10 rebuilding from the economic downturn we need to get a
11 lot of people educated real quick, and they need to keep
12 coming on. As the industry expands, new people will be
13 coming on, so one size doesn't fit all. We're going to
14 have to do this on an annual basis probably well into
15 the next decade.

16 Lastly, before I hit on some liability issues,
17 our new and unfamiliar design techniques, as I started
18 off with, we can indeed fix and do better things, more
19 efficient things with the building envelope, putting
20 insulation in the roof deck, moving to 2-by-6 or 2-by-8
21 construction, switching to 24-inch-on-center with the
22 studs as opposed to 16-inch-on-center.

23 The problem here is you can't do that overnight.
24 Once again, just like training on ZNE, putting solar
25 into the roof, industry needs time. And while these

1 things can be done, they're relatively expensive. And
2 particularly with the roof deck issue, industry is
3 largely unfamiliar with that. Yes, it does work, but we
4 need to establish sort of a historical database.

5 And once again, allowing that as a design credit
6 early on so that industry can slowly move into that and,
7 hopefully, by 2016, 2019 we can be a lot more familiar,
8 do a good job with it, and we anticipate that sort of
9 moving towards a mandatory feature.

10 We just need time, as Mike indicated, of getting
11 there.

12 COMMISSIONER PETERMAN: But Bob, before you go
13 into the limits, first, I'll let you catch your breath
14 because that was a lot. It was a lot for my brain to
15 hear, so it must have been a lot for you to say.

16 MR. RAYMER: That's just the high points.

17 (Laughter)

18 COMMISSIONER PETERMAN: And I look forward to
19 the written.

20 I do have a clarifying question, actually, that
21 might be more appropriate for one of the solar
22 contractors. And that's you commented on the change,
23 you know, from the flat roofs to the pitch roofs, and
24 multi-story, are we seeing an increase in the power
25 density in modules in this point?

1 Because I know there are some modules that have
2 better power density, but I'm just wondering to what
3 extent you all see that as a constraint on system actual
4 size? Or in the future I'd be interested in that
5 response. It's just a probably better one for Matt
6 because SunPower has some of the higher density.

7 MR. ATALLA: Commissioner, maybe I can address
8 it on behalf of Matt, if you will, to some extent.

9 The SunPower product has increased in efficiency
10 in the last couple of years and we're, this year,
11 switching to the higher efficiency model.

12 Secondly, another innovation that they brought
13 to us to somewhat address some of these issues in terms
14 of roof space is an inverter that has -- that allows for
15 two orientations. This is not the micro-inverter, this
16 is a traditional inverter, but allows for two
17 orientations.

18 So, we're already seeing these smaller homes in
19 Irvine, for example, and so we're deploying it in Irvine
20 because we do need -- we have a lot more complex product
21 there with a lot of roof variations and we do need two
22 orientations, so we're applying it there.

23 COMMISSIONER PETERMAN: Very neat. Well, thank
24 you, I'm glad you responded.

25 MR. RAYMER: Okay, lastly on liability issues

1 two points. The definition of zero net energy, as with
2 energy efficiency in general now moving towards zero net
3 energy we're going to be -- we need to be careful how we
4 define this for the public and, more importantly, the
5 disclaimer that the builders are going to have to be
6 working up into contracts.

7 If the consumer is somehow under the impression
8 that they're not going to see an energy bill anymore
9 because they live in a zero energy home, they're
10 probably going to be -- well, I'd say maybe a third to a
11 half the consumers are going to be very unhappy.

12 They're not going to sue the PUC, they're not
13 going to sue the Energy Commission, they're going to sue
14 the homebuilder.

15 And so we need to find a way that very clearly
16 and succinctly gets the point across these are the
17 assumptions used by the State, without necessarily
18 lining them out, and if the home is used according to
19 the assumptions used by the State this should be
20 effectively what your bill is going to look like, but
21 there is going to be a bill.

22 And so to that extent we need to do what we can
23 ahead of time to beware that just as we've seen with
24 certain energy efficiency provisions there will be
25 litigation if things don't know the way the homeowner,

1 maybe unintentionally thinks they're supposed to go.

2 And that gets to occupant comfort, which is my
3 last point.

4 COMMISSIONER MC ALLISTER: So, let me just --

5 MR. RAYMER: Sure.

6 COMMISSIONER MC ALLISTER: I just want to make a
7 quick point there. So, Commissioner Peterman and I are
8 actually collaborating on the 2013 IEPR, as well, and I
9 would strongly encourage you to participate in the
10 workshop that we will hold about zero net energy and
11 very likely front and center there will be discussion of
12 what is the proper definition of zero net energy.

13 I think that's a benchmark that has to be out
14 there, which is long overdue and it's been incredibly
15 difficult to define and sort of satisfactorily. You
16 know, we want to do it in a way that doesn't sort of
17 encourage gaming in fuel switching, that it's sort of
18 just clear all around and that you can use, and give
19 some comfort -- some predictability with respect to what
20 you're actually building towards.

21 MR. RAYMER: Yeah, I'm very worried that as we
22 go forward and the complexity, if the standards
23 continues on the same trajectory that we've seen trying
24 to explain to a homeowner what TDV is, they're eyes are
25 going to glaze over. You're going to lose them. Just

1 like I lose the people I work with at CBI and try to
2 explain to them what I do for a living, even though I've
3 worked there for 30 years and their eyes glaze over and
4 just go do it, Bob, please don't tell us about it.

5 The same goes with the builder or the
6 purchasing -- or the sales staff. They've got to try to
7 figure out how to articulate to the homebuyer, all
8 homebuyers what this really means.

9 And I've been on a task force at the PUC dealing
10 with the definitional issue of ZNE for about two years.
11 We're getting close, but it's still pretty complex. And
12 even if we go for the low end, which we seem to be kind
13 of headed for there, it's still a very difficult thing
14 to articulate.

15 And with that, you know, with that kind of
16 difficulty will give rise to confusion, people will get
17 bills and they'll wonder why am I getting a bill? I
18 need to get a lawyer, you know, this is just not the
19 right thing.

20 And lastly, in terms of occupant comfort, Mike
21 alluded to it earlier, particularly as we head towards
22 really defined, well-engineered HVAC systems if you base
23 the performance of that system on incorrect assumptions,
24 if you're shooting for the worst 95 days -- or I'm
25 sorry, a temperature, a dry temperature, if you will,

1 that's good for perhaps 95 percent of the time, then
2 there's five percent of those hottest days that your
3 system isn't going to meet the comfort needs of a good
4 number of the occupants, in essence, the 10 or 15
5 hottest days of the year.

6 And it's over those 10 to 15 percent of the days
7 of the year that they're going to sue over. If they're
8 not comfortable in the house, we've got to figure out
9 how to, number one, install a very good system and make
10 sure that the homebuyer that moves in there fully
11 understands that during the hottest times of the year
12 you may not be as happy as you are during the remainder
13 of the year.

14 That needs to be clarified up front because
15 there's a lot of litigation out there over this very
16 same issue, a whole lot in Las Vegas.

17 COMMISSIONER PETERMAN: So, let me note, this is
18 a great discussion that could go on all afternoon.
19 We're already behind time and, as Commissioner
20 McAllister noted, we'll be exploring the issue of zero
21 net energy in more depth in the 2013 IEPR. So, there
22 will be a number of opportunities to get into the
23 details.

24 So, I'm going to ask that as you continue
25 moderating go through questions three and four, and if

1 everyone can, you know, focus on their priority answers
2 and really honing in on the New Solar Homes Partnership
3 Program at this time so staff has some sense of what to
4 do in terms of upcoming Guidebook revisions, and then
5 we'll explore many of these topics more going forward.

6 And then, also, I want to leave a couple of
7 minutes for some audience questions, as well.

8 MR. NASIM: So, moving on to question three,
9 many cities and counties have varying energy efficiency
10 policies and programs. How can State agencies take
11 these into consideration to streamline their program
12 requirements, such as for the NSHP program?

13 One item I'm thinking of are local ordinances
14 that are approved here by the CEC, where jurisdictions
15 require homes built in their cities or, you know,
16 counties and what have you, they must be 15 percent
17 beyond Title 24.

18 So, is there a way that we can align our
19 programs with their requirement to streamline our
20 process?

21 MR. RAYMER: Well, I think what's currently
22 happening with local jurisdictions, and by far the most
23 common above-code adoption that I've seen over the past,
24 say, four to five years, the local jurisdiction will
25 adopt part 6 and they'll adopt part 11, the California

1 Green Code. And rather than going to Tier I or Tier II
2 in the California Green Code, they'll simply adopt the
3 minimum green provisions but require a 15 percent
4 increase in part 6, the energy efficiency standards.

5 And where I've seen modifications to that, they
6 may also require, depending where they are in the State,
7 some water conservation measures above and beyond what
8 is minimum requirement in CALGreen.

9 So, that's been going on. Quite frankly, the
10 Energy Commission's been doing a good job, along with
11 some of the utility subcontractors, in developing
12 economic analysis that is needed in adopting these.

13 We've seen there's probably five dozen or so
14 jurisdictions that have gone above-code. Not all of
15 them have filed with the Energy Commission, but somehow
16 they seem to require it.

17 And we're not of the minds that -- you know,
18 we're not going to argue over that. If a jurisdiction
19 wants to do it, that's fine. We prefer they file the
20 paperwork with the State so we know ahead of time, but
21 so far it's been working quite well.

22 I'd have to say the Energy Commission's done a
23 good job of helping the locals out with this and vice-
24 versa.

25 MR. HODGSON: My comment on that is local

1 jurisdictions do what local jurisdictions want to do and
2 it's local politics, so we just have to adapt, serving
3 the building industry to whatever the local politics
4 are.

5 However, the Commission definitely can assist
6 making that a smoother path by encouraging them to adopt
7 either Tier I or Tier II because then we know what those
8 standards are, they're uniform and they're not unique,
9 now.

10 To say that is one thing, to actually implement
11 it is another.

12 It also would behoove, in personal opinion, the
13 Energy Commission to actually work with the local
14 jurisdictions to more effectively enforce their own
15 standards. And we know there is a lack of compliance in
16 the market and it sets a competitive disadvantage for
17 those who are playing by the rules to those who are not.

18 So, if there's some relationship where if a city
19 or a county applies to go to Tier I is there some
20 assessment on how well they're enforcing the existing
21 standard? Currently, there is not. But I would say
22 that would be an interesting hurdle that you could set
23 for those folks who say they want to go beyond code, is
24 there some documentation that they can provide to you,
25 or some assessment that the Energy Commission can give

1 that local jurisdiction so that we know we're actually
2 getting those savings and encouraging them to do a
3 better when they go above-code.

4 COMMISSIONER PETERMAN: Moving on to the last
5 question.

6 MR. NASIM: Okay, the last question, how can the
7 energy efficiency intended programs in the NSHP be
8 streamlined and maximized? How can these programs be
9 coordinated to help California achieve its ZNE goals?

10 MR. RAYMER: I think I've already mentioned
11 energy efficiency credit for solar is certainly a good
12 start. I think the important thing is to try to prompt
13 industry to move forward on both of these issues, not
14 just look solely at energy efficiency and then at the
15 last move look at solar.

16 Like I said, we've got to get tens of thousands
17 of individuals familiar with above-code. We've got to
18 get these same individuals familiar with solar
19 installation and we've got to do it now.

20 MR. ATALLA: I would add that the NSHP program
21 has, as Bob mentioned earlier, is helping train the
22 trades to build with solar, which is going to be a
23 necessary component down the line for zero homes.

24 So, continuing right now with the program with a
25 stable policies and streamlined Guidebook is essential

1 for us to get the knowledge up enough so that we can
2 build zero homes efficiently in the future, market
3 transformation.

4 MR. RAYMER: Bringing the task force back into
5 action, in whatever vehicle you want to use for that in
6 2013, I think is going to be a big help.

7 And early on, effectively troubleshooting
8 things, asking people give us the problems that are
9 going on out there so the group can kind of work it out
10 early on and, you know, roll up the sleeves and come up
11 with some policy. That's the way to do it. Thank you.

12 COMMISSIONER PETERMAN: Great, thank you.

13 MR. HODGSON: I have just one quick comment to
14 add to what I think Jacob was saying is having a stable
15 base of incentives for a known amount of time is very
16 important to the production builder who's planning a
17 subdivision that may be being built for two to four
18 years.

19 The other -- the criticism I've heard, and I
20 don't participate in New Solar Homes Partnership, I mean
21 we don't really do too much of that work.

22 But the criticism I've heard, of the builders
23 who are participating in it, is the turnaround time is
24 painfully long.

25 And so having a clean Guidebook that's

1 streamlined, and some performance guidelines for those
2 participants who are a part of the cog that make that
3 system work would be very helpful.

4 COMMISSIONER PETERMAN: No, those are all great
5 comments. And I would say I'm sure in every workshop
6 people would like more regulatory certainty and I'm sure
7 we would, as well. So, I appreciate the request.

8 We'll take time for any audience comments and
9 just to mix it up a little bit, see if anyone on the
10 phone, first, wants to put in a question or a comment on
11 this topic?

12 Then anyone in the room?

13 MR. NESBITT: George Nesbitt.

14 COMMISSIONER PETERMAN: And we need specific
15 questions, George, because we're running about a half-
16 an-hour past.

17 MR. NESBITT: Okay.

18 COMMISSIONER PETERMAN: Thanks.

19 MR. NESBITT: Just real quick, we need energy
20 efficiency as well as renewable, and Mike kind of hit on
21 it. Currently, PV is the only thing we can get credit
22 for on the renewable side. Solar hot water works on the
23 energy efficiency side.

24 So, we're going to need wind power and other
25 type of systems to be able to take credit for the

1 renewable.

2 I think staff actually has articulated that for
3 number two that focusing on the building enclosure first
4 is important. It's the thing that lasts the longest,
5 it's the thing that costs the most to go back and fix.

6 Mechanical systems don't last as long, they
7 should be replaceable.

8 I agree with Bob, we do need to tackle
9 appliances and plug loads, but those also have the
10 shortest product life, so those -- those get replaced
11 much more frequently.

12 I think one of the work-arounds that local
13 jurisdictions are using is requiring green -- you know,
14 green point rating or something which requires your 15
15 percent above code, without going through the process.

16 But the problem is without any kind of
17 verification there is no teeth.

18 And I just want to make a point that as we raise
19 the code higher and higher it becomes harder to get to
20 15 or 30 percent. So, we went from 35 down to 30 for
21 Tier II.

22 I don't know, do we have any Tier II high-rise,
23 multi-family? Okay, I don't think you can get there
24 currently.

25 2013, you know, Tier I just might not even be

1 reachable.

2 So, we have to remember that as we crank up the
3 code we've got to reduce tier thresholds and we've got
4 to make sure we can actually get to them because CTAC
5 requires it, and affordable housing developers.

6 So, we may have requirements that people can't
7 meet and money, you know, even given an unlimited amount
8 of money. We have no ability to get credit in high-
9 rise, multi-family for practically anything, except duct
10 testing which disappears in 2013.

11 So, I'll leave it at that.

12 COMMISSIONER PETERMAN: And thank you. Those
13 are good observations and it's a question I've had as we
14 move towards meeting our energy efficiency goals how to
15 think about the balance of the percentage requirement
16 reductions. So, thank you for teeing that up.

17 MR. NESBITT: Actually, two other quick things.
18 Barriers; the Air Resources Board, they have prevented
19 California from following the rest of the country in
20 having a prescriptive air leakage requirement.

21 Another barrier is, you know, Bob brought up net
22 zero -- I prefer net zero energy. Zero net energy puts
23 the emphasis on zero. But four years ago, in this room,
24 we debated and the Energy Commission approved, not the
25 current Commissioners, a definition of net zero energy

1 for California, in Title 20, the HERS rating system.

2 Unfortunately, CPUC and others have not
3 recognized it or that the Energy Commission has the
4 authority to regulate building and building energy.

5 So, we need everyone to, whether they like the
6 definition or not, to get in line. We can always change
7 it later, but we're tearing it apart.

8 COMMISSIONER PETERMAN: Thank you.
9 Please.

10 MS. FOGEL: Yeah, Kathy Fogel, CPUC. I'll just
11 leave that definition issue behind for now.

12 But I was wondering for Bob, you've mentioned
13 training a lot today and I know you've discussed it with
14 the Commissioners a lot, as well, could you be any more
15 specific about how you see this training being provided?
16 What types of partners you anticipate would be needed?
17 And what the role of what the private sector should be
18 versus the public sector?

19 MR. RAYMER: We've had some -- I'm going to use
20 a test case that we had in the late 90s, early 2000s,
21 and that was with the BECT Program, originally funded by
22 DOE through the Energy Commission. In years after that,
23 IOUs, such as Edison and SoCal Gas picked up where DOE
24 had left off.

25 This was a program that was designed initially

1 for production builders, in particular the site
2 superintendents. They wanted the Federal and State
3 governmental entities, yourself and DOE, wanted to have
4 a maximum penetration into the market.

5 And fact of the matter is it was ConSol that
6 served as the contractor to the Energy Commission on
7 this. And the plan that they had used was to get a
8 small, basically get-in-the-face, not do it over the
9 internet, but to get basically into a small classroom,
10 not one with 50 to 100 people, but do these up-front,
11 small groups of 8 to 15 people, usually from one or two
12 companies, get them into the room.

13 And then after the update on the standards is
14 done, usually in the morning, the afternoon was spent
15 out at one or more sites kind of going over the problems
16 that were encountered.

17 And then there was a follow up about six months
18 down the road, with the same builders, to find out how
19 things are going, have they improved on the things that
20 they weren't doing well?

21 And we saw compliance in the late 1990s and
22 early 2000s skyrocket. It was a very successful
23 program. I believe the CEC got two awards from DOE for
24 the success of that program and it was used as a model
25 in some other states.

1 That type of up-front education has worked
2 fantastic and we would suggest that it continues. It
3 works very well with the building officials.

4 You seem to lose focus when you get classrooms
5 of 50 to 100 people. I realize it's a real easy way to
6 do things, but small is good.

7 COMMISSIONER MC ALLISTER: So, let me just ask
8 one a little bit more in-depth. So, were these mixed
9 classes, did they have building officials and builders?

10 MR. RAYMER: The ones that I attended on a
11 regular basis did have building officials. And I would
12 like to point out that the CAUBO Training Institute has
13 great access to basically the statewide set of building
14 officials and plan checkers, and the designers.

15 And so there's a lot of crossover here. I'm
16 just giving one example, but that same model can be used
17 with just about any group. So, this is something that
18 we can discuss at great length later on, but there's a
19 lot of models over there.

20 It's just the Energy Commission's had so much
21 thrown at it over the last few years, ARRA, et cetera,
22 et cetera, that maybe it's time to kind of revisit some
23 of the things that worked about a decade ago and maybe
24 revisit it.

25 COMMISSIONER MC ALLISTER: Well, I think we've

1 been in this situation where we've kind of been -- you
2 know, we've had certain things, basically just like you
3 said, we've had a lot of things thrown at us.

4 But I think we have to recognize, now, that
5 2020's not too far off and we only have two more Code
6 cycles. The things that Code will have to ask builders
7 to do, and the inspectors, and there's a spot for new
8 construction, for sure, but also there's a big existing
9 building component here, are going to be outside the
10 box. And, you know, and so I think this education is
11 really essential, this kind of education and sort of
12 getting everybody on the same page is really essential.

13 And so any of you who have sort of ideas from
14 your perspective about how that could happen to make it
15 operational in practice --

16 MR. RAYMER: I think the CEC partnership with
17 the Contractors Licensing Board and the local building
18 departments could really help out with existing housing
19 stock and commercial stock. That's a huge problem.

20 COMMISSIONER PETERMAN: Moving on, any other
21 audience comments or questions?

22 And, Mike, would you like to have the last word?

23 MR. HODGSON: No, I was just going to give --

24 COMMISSIONER PETERMAN: Okay.

25 MR. HODGSON: -- Commissioner McAllister an

1 example. 2013 is a fairly rigorous code and there was a
2 lot of pushback on the code from the building industry
3 for a variety of reasons.

4 But one of the examples that -- we're going
5 through the residential manual, now, and try and help
6 staff edit as much as possible, but I still don't
7 figure -- I do not understand in being -- coming from a
8 company that has a lot of mechanical engineers in it,
9 how we're going to double the size of our returns in a
10 two-story home, with five-foot side yards, and put in
11 600 square inches of return on the second floor, and get
12 that by my building client, as well as their marketing
13 department.

14 I know Jacob has to take the abuse. As soon as
15 he designs something, he has to defend it. And it's not
16 to the public, he has to defend it internally.

17 And we don't -- we haven't figure that out, as
18 an industry, and I don't think the Commission
19 understands the constraints they put on industry when
20 they make up these rules that really don't have a
21 practical solution, yet.

22 And those are the issues that we have to really
23 get a better dialogue going because there's a lot of
24 them out there. And we push back on some of them,
25 especially with the roof deck insulation. This is, you

1 know, just an example of how --

2 COMMISSIONER PETERMAN: Mike, you're getting a
3 little further along into a topic than I want to at this
4 point.

5 MR. HODGSON: Okay.

6 COMMISSIONER PETERMAN: So, I think your point
7 is duly noted.

8 Commissioner McAllister, would you like the last
9 word on that and then we'll take a five-minute break and
10 do the next session.

11 COMMISSIONER MC ALLISTER: So, just as a general
12 point I would say, you know, if we can get -- if we
13 identify these issues early on and talk about them,
14 there actually is, I think, expertise inside the
15 Commission, in the development of the Code that can help
16 resolve those issues kind of before they happen.

17 But in any case, you know, we've got to get
18 everybody in the room at some point and hash it out
19 because, you know, this is where we have to go. And I
20 think we are all on the same page with that but, you
21 know, everybody's got a different perspective.

22 So, I think that this kind of dialogue, and
23 certainly within the IEPR and 758 proceedings needs to
24 continue and be as pragmatic as possible. So, thanks.

25 COMMISSIONER PETERMAN: And I would say

1 generally, too, again the reason we're sitting here
2 together is even though much of this dialogue will
3 happen under energy efficiency workshops and
4 proceedings, it has implications for the New Solar Home
5 Partnerships and we want to make sure that the
6 Partnership Program stays current with the advances that
7 you're doing on the energy efficiency side.

8 Well, thanks, that was a great panel, got a lot
9 of information. Looking forward to, you know, Bob,
10 particularly you submitting some of your notes, or I can
11 read the transcript as well, because lots of good
12 suggestions there.

13 So, let's take a five-minute break and then
14 we'll have our final panel. Thank you.

15 (Off the record at 3:55 p.m.)

16 (Resume at 4:02 p.m.)

17 COMMISSIONER PETERMAN: Thank you, we're going
18 to get started as I know there are some folks who flew
19 in, and have trains, and I want to make sure that we
20 give the attention to this last panel, as well.

21 What's been interesting is I think we've touched
22 upon topics related to consumer protection and
23 warranties in the panels leading up to this, and this is
24 a good one to wrap up on about -- you know, particularly
25 about marketing and outreach, and how do we get to our

1 goals?

2 MS. HUTCHISON: All right, thank you. My name
3 is Elizabeth Hutchison, I work in the Renewable Energy
4 Office. I will be talking about topic four, Outreach
5 and Marketing, Warranties, Consumer Advocacy and
6 Protection.

7 I will try and make this as short and sweet as
8 possible so that we can leave as much time as we can for
9 our panel discussion.

10 Just an overview, I will be talking about past
11 outreach and marketing efforts, current outreach and
12 marketing efforts, current PV system warranty
13 requirements for solar incentive programs, and then
14 we'll go ahead and turn it to our panel discussion.

15 Our past outreach and marketing efforts for NSHP
16 was a three-year public awareness campaign for both
17 builders and consumers.

18 The goal here was to encourage builders to
19 incorporate high levels of energy efficiency as standard
20 features, and encourage homebuyers to seek these types
21 of homes to purchase.

22 We had a Consumer Go-Solar California
23 Sweepstakes in 2008 and 2009. Participants were entered
24 into the sweepstakes by taking an online quiz about
25 energy efficiency.

1 Grant prizes included a hybrid car and green
2 home makeover.

3 We did research reports assessing consumers'
4 awareness and attitudes towards solar and energy
5 efficiency.

6 Stakeholder partnerships contributed more than
7 \$1.9 million in added value to the campaign.

8 We had several outreach to municipal affordable
9 housing and builders. We provided toolkits for going
10 solar.

11 We also had an NSHP Advisory Committee from 2006
12 to 2009. This Committee helped created NSHP and made
13 sure that it addressed current market conditions.

14 Over time the Committee eventually dissolved.

15 We also had "Buying of a PV Solar Electric
16 System." This discussed the basic technical, economic,
17 and regulatory information that you should know before
18 buying a PV system.

19 Currently, the Energy Commission offers several
20 tools and resources for consumers when they are looking
21 into going solar. We had several calculators, the CEC
22 PV calculator estimates estimated performance and
23 supports the NSHP PV application.

24 The Solar Advantage Value Estimator, known as
25 the SAVE tool, estimates the present value of a solar PV

1 system.

2 The Clean Power Estimator estimates customer
3 payback and return on investment in solar systems.

4 I've just highlighted a few, but there are many
5 more available on the Go-Solar California website.

6 Informational materials that we have available
7 are the NSHP Guidebook, which has all the program
8 eligibility requirements, NSHP Reservation and Payment
9 Claim Checklist. These are intended to assist program
10 applicants with so many NSHP applications.

11 We also pass out brochures, which contain a
12 brief overview and information about NSHP.

13 The Energy Commission, along with the program
14 administrators, which includes PG&E, SDG&E, and SCE,
15 hold several public workshops during the year to help
16 educate applicants on the requirements of NSHP.

17 To show the current warranty requirements we
18 chose six different well-known solar incentive programs,
19 four in California and two on the East Coast, which
20 include New York and New Jersey.

21 The California programs have fairly similar
22 requirements, all consisting of requiring a minimum ten-
23 year warranty that protects against defects in materials
24 and workmanship, and degradation in electrical output of
25 more than 10 to 20 percent from the originally rated

1 electrical output.

2 The New York and New Jersey incentive programs
3 only require a minimum five-year warranty and it does
4 not protect against defects in materials and
5 workmanship.

6 As you can see, between the California programs
7 and the other two programs there are some
8 inconsistencies in the length of warranty that is
9 required.

10 We want to ensure that the requirements that we
11 have established in our incentive programs are good
12 enough to protect our customers.

13 So, with that I would like to introduce our
14 panelists.

15 We have Jacob Atalla from KB Homes.]

16 We have a change, we have Scott Weber on the
17 line for the Contractors State License Board.

18 We have Eric Weingarten from Solar City.

19 And Lew Milford from Energy States Alliance.

20 If you would like to introduce yourselves and
21 give a little background on how you are related to
22 warranties and marketing and outreach?

23 Go ahead, Jacob, we'll start with you.

24 MR. ATALLA: Thank you. So, in regards to these
25 items, I think my biggest exposure to it and activity on

1 it is really working with our legal department trying to
2 make sure that the claims that we make are acceptable,
3 and can be backed up. To that extent, every time we can
4 bring an EPA, or DOE or, CEC calculator, or a brochure
5 forward it helps us because it gives us a certain amount
6 of credibility and backstop, if you will. So, I think
7 that's an important part of it.

8 And then the second part is, of course, trying
9 to work with our sales team to leverage the value and
10 bring out the value that we put in the homes we build
11 with solar on them. I'll leave it at that.

12 MS. HUTCHISON: Go ahead, Eric.

13 MR. WEINGARTEN: In my role as Assistant Counsel
14 for Revenue I'm the lead -- sorry, let me move it a
15 little closer.

16 Is that better? yeah.

17 I have the lead responsibility, from a legal
18 perspective, to ensure that all our contracts are
19 compliant with all the respective consumer protection
20 statutes, State and Federal.

21 And then I also, in my role, negotiate as lead
22 negotiator from the legal department, all our
23 procurement contracts to make sure all of the warranties
24 are what our investors require, the fund investors, and
25 then what we would require, just generally, from a

1 business stand point.

2 And then I also have lead responsibility for
3 making sure that all of our marketing materials and
4 brochures are compliant with consumer protection
5 requirements and then, also, socializing all of that
6 with our sales team throughout over 600 personnel.

7 MR. MILFORD: My connection to this would be,
8 obviously, what the other states are doing through the
9 Energy States Alliance.

10 And what this has prompted us to do is to
11 actually send out a survey to about 20 of the other
12 states, asking for more detailed information along these
13 lines.

14 So, I don't have much to say about this at the
15 moment, but I hope we can get some more information
16 about these kinds of issues from those other State
17 programs and share it with you, and anything else that
18 comes out of this that you might want from other State
19 programs, we'd be happy to try to get that.

20 MS. HUTCHISON: Scott Weber, from CSLB, do we
21 have you on the line?

22 MR. WEBER: Yes, I'm on the line. I'm with
23 Melanie Bidwell from our Public Affairs Office, as well.

24 As you know, the Contractors License Board is a
25 consumer protection agency. We receive about 16,000

1 consumer complaints each year which we investigate.

2 And some of those complaints, if you want to
3 talk specifically, do deal with warranty issues.

4 We have a section of code when a contractor or
5 manufacturer breaches a warranty, so we do get involved
6 in warranty investigations.

7 And we license 310,000 contractors, so we have
8 quite a big base.

9 MS. HUTCHISON: Great, thank you. We're going
10 to start with question number one.

11 NSHP has a goal of installing somewhere around
12 50 percent of new housing by the end of the program.
13 What level and types of outreach, marketing and
14 technical support are needed to achieve that goal?

15 Anybody?

16 MR. ATALLA: I think it had been mentioned in
17 earlier sessions that giving the homeowners --
18 homebuyers enough education to let them see the value of
19 the system and the ROI for the system are important
20 factors.

21 To that extent, the program has done a lot with
22 the tools that you've reviewed. I think we need to
23 leverage them better and get our builder sales teams
24 more at east in conversing about solar. So, more
25 training toward sales teams is something that is --

1 something that we see that could add value and could
2 take us to the 50 percent you're looking for.

3 COMMISSIONER PETERMAN: I just have a follow-up
4 question on that. I was just wondering, on houses where
5 you've not put solar, so how much is their education
6 generally about electricity consumption in a house or
7 the energy efficiency?

8 Because I would imagine that getting homebuyers
9 comfortable with solar also requires them to get
10 comfortable with understanding electricity basics.

11 MR. ATALLA: Sure. To that extent,
12 Commissioner, I mentioned earlier in the day that we
13 have designed an Energy Performance Guide, which is a
14 sticker that goes on the model home, just like there's a
15 sticker on the window of new cars.

16 And early on we decided that the conversation
17 with the consumer cannot be about kilowatts. They don't
18 understand how to measure kilowatts, so we talk with
19 them all about dollars. Okay, the EPG has a very small
20 thing at the bottom for the percent better than Title
21 24, in terms of energy.

22 We don't put anything about kilowatts, here's
23 how many kilowatts you're going to save. We put a big
24 number that says your utility bills for gas and electric
25 are going to be -- per the models, the energy models

1 that we've run are going to run about this much. And
2 here's how much you're saving versus a resale home.
3 Again, to differentiate from the resale market, and
4 that's what we work with.

5 MS. HUTCHISON: Anyone else want to comment?

6 MR. WEINGARTEN: You know, the only that I
7 would -- at least just in terms of what I see on the
8 warranty side, with the requirements there they make
9 sense, but a lot of folks don't know what entails a
10 full, you know -- I guess looking at the degradation in
11 power output what does that mean? Well, that's a
12 guarantee.

13 What do those percentages mean? How do they
14 work? What should the customer be looking for in a
15 materials and workmanship warranty, you know, that kind
16 of background and insight.

17 And I think it also helps, you know, the
18 companies out there that are trying to make sure that
19 their products are compliant with that and making clear,
20 okay, what's required by a defects and workmanship
21 warranty requirement and, you know, the degradation,
22 what does that really mean?

23 You know, the more guidance that can be provided
24 there, both for the customer and also the companies that
25 are participating, the better.

1 COMMISSIONER PETERMAN: Yeah, I think that's a
2 good point.

3 And I would have a general question of, which I
4 don't know what these warranties is, how often they have
5 to be exercised, utilized, you know, as soon as you buy
6 a product?

7 Anyway, I had this shredder one time from an
8 unknown company, and the unnamed company I had to return
9 it to every week, and the warranty wasn't worth it.

10 Then there's other ones where it works for the
11 whole duration.

12 MR. WEINGARTEN: Yeah, I mean the warranties --
13 I mean these numbers, they're perfectly fine. I mean
14 these warranties, there's been some discussion earlier
15 about warranties on inverters. Inverters are going to
16 be 10 years, panels 25.

17 Degradation in power output, you know, these
18 percentages are perfectly fine and they're very
19 attainable, and they're not a problem, and these are
20 very consistent.

21 You can take a look at the numbers here in
22 California and they're relatively consistent, and
23 Arizona has numbers that are similar to this, too.

24 Yeah, the states that are well deep into this,
25 they have these numbers.

1 And in terms of your question about -- was it
2 about how many times -- calling up the company,
3 literally, like it's broken, how do I get this fixed?

4 In our contracts, you know, in contracts that I
5 think across the industry we see, that are pretty
6 typical, there's procedures, return merchandize
7 authorization procedures.

8 But the key for the customer here, I guess, is
9 that, you know, the company that you're contracting with
10 is going to take care of that.

11 And that's sort of the customer protection issue
12 is that it should be clear what they're getting and that
13 that ten-year warranty is simply you call the company
14 and they fix it, and that's the intent of it.

15 I think that that's what all the solar leasing
16 players and PPA providers do.

17 MR. ATALLA: I think it is the intention that
18 for a warranty that Mr. or Mrs. Consumer call the
19 warranty provider and they'll take care of it.

20 But in the new home world, the new home
21 construction world the first entity they will call is
22 the builder, themselves.

23 So, the selection of the solid partner to be
24 there and, you know, support the program is very
25 important in this matter, also keeping it -- keeping the

1 warranty and the installation simple and clean.

2 Roof installations I think were mentioned a
3 while back, in terms of the importance of roof
4 installation along with solar, so that becomes something
5 that we look at very carefully, how it is the roofer and
6 electrician -- the roofer, and electrician, and solar
7 company, we try to keep them all on the same -- all in
8 the same company or working together so that there is no
9 more finger pointing.

10 MR. MILFORD: If I could just raise one point,
11 and I don't want to get my friend upset here, next to
12 me, but I wonder about the question about how well-
13 capitalized the leasing companies are? I mean they're
14 becoming important players, new players in an industry
15 with potentially thousands, let's hope, tens of
16 thousands or more customers going forward, I think
17 guaranteeing, whether it's the manufacturer's warranty
18 or other guarantees, you know, a new relationship,
19 basically, 10 or 15 years.

20 And these start to look like, you know, car
21 leases, basically, that's sort of the model. And maybe
22 a couple of years ago we would have been worried about
23 GM being there to backstop car leases.

24 And so I guess it's just a question and I know
25 that, obviously, they're thinking about this, but

1 whether there's a role for the State in thinking about
2 that and questions, you know, to be asked and some
3 satisfaction about that not being an issue going
4 forward?

5 COMMISSIONER PETERMAN: I think that's a
6 reasonable point and question to ask as we're trying to
7 scale up the market.

8 And I don't know if our panelists from the
9 Licensing Board have any comments on Lew's point, there?

10 MR. WEBER: Well, capitalization as far as
11 requirements for a contractor's license is very low.
12 The code reads \$2,500, currently, so that is way out of
13 the realm of what Lew's talking about, just to get a
14 license.

15 COMMISSIONER PETERMAN: And just kind of
16 following up on that question because I know you have
17 the solely licensed, versus general contractor and
18 electricians. Do you have a different capitalization
19 requirement across?

20 And considering there are sometimes newer
21 industries have you thought about a higher
22 capitalization requirement for the more specialized and
23 newer industries?

24 MR. WEBER: I think our capitalization is very
25 low and it's consistent across all classifications. We

1 have 46 classifications, so it is consistent.

2 Have we thought about these newer industries, it
3 probably should be raised overall, but these new
4 industries should probably be looked at as well.

5 COMMISSIONER PETERMAN: Thank you. Anything
6 additional you also want to add about the discussion?

7 MR. WEINGARTEN: Well, just on the
8 capitalization requirement. And one thing, I mean
9 there's a certain -- certain players and constituents in
10 the industry are represented here, but there are other
11 folks, smaller players. And when you set up
12 capitalization requirements like that, that inherently
13 creates a barrier to entry.

14 And we just need to be careful. You know, we're
15 a bigger company, obviously, but there are folks in the
16 market that are competitive and should be allowed to
17 compete in this market.

18 And when you set up capitalization requirements,
19 you need to take a look at that.

20 I mean, also, there's a lot of -- I mean you
21 have cash players in this market selling systems, and
22 when you take a look at capitalization of inverter
23 manufacturers or, you know, PV manufacturers,
24 themselves, I mean it's just something that there are
25 different players in that field and you're looking at

1 different warranty providers.

2 And the role that companies, leasing or PPA
3 companies play in providing a warranty is different from
4 the role that the PV manufacturer or the inverter
5 manufacturer plays.

6 And it's a more limited role that the leasing
7 company provides. It's an aggregate, it's almost like
8 an O&M kind of company that will facilitate the claim.

9 But if there's a problem with a customer system,
10 more often than not it is a problem with the actual
11 componentry, which is really just the manufacturer,
12 itself.

13 COMMISSIONER PETERMAN: Elizabeth, please.

14 MS. HUTCHISON: I guess that concludes question
15 number two.

16 COMMISSIONER PETERMAN: I didn't think we were
17 done with two, yet. I didn't think we got there, yet, I
18 thought we just streamed into it.

19 MS. HUTCHISON: Okay. A big concern we have is
20 companies going out of business and, therefore, likely
21 won't honor their warranties. Are there any ideas on
22 how to deal with this situation and protect the
23 consumers?

24 MR. WEINGARTEN: Yeah, just a thought here. You
25 know, consolidation is inevitable in any industry that

1 reaches a certain level of maturity of technology and
2 margins grow slimmer.

3 Inherently, I mean, obviously, there are lot of
4 pluses and minuses to that from a market stand point.
5 But from a customer stand point consolidation, there are
6 a lot of systems that are going to be out there that are
7 still generating money. There are a lot of
8 manufacturers that will be purchased, and aggregated and
9 allocated -- or aggregated together.

10 The key, certainly from a leasing stand point or
11 from a PPA stand point is somebody's still making money
12 on those systems and because of that there will be an
13 interest in maintaining the warranties. But it's a good
14 question and I don't know how you deal with that with
15 just the manufacturers, themselves.

16 And if there's a manufacturer that's bankrupt
17 and then they can't make good on their warranty, I mean
18 that's a good question. I mean it's a risk in any
19 industry, but particularly this one.

20 COMMISSIONER PETERMAN: Well, I was curious just
21 to hear the response from the State Licensing Board in
22 terms of the points that Eric is raising about how we go
23 about that in other industries, in terms of bankrupt
24 industries, and making sure those warranties are kept.

25 MR. WEBER: You know, probably the largest

1 number of bankruptcies and largest cases we've seen have
2 been in the pool industry that we can refer to. Some of
3 them you might have seen in the news.

4 Basically, when we have a situation like that we
5 really can't do too much, other than if someone files
6 bankruptcy prevent licensure for the future.

7 But we have, in the past, tried to pull the
8 industry together and help consumers as far as getting
9 either work completed, fixed, repaired at a cheap rate.
10 So, we have been involved in pulling the industry
11 together.

12 But we really are somewhat limited when an
13 actual bankruptcy's filed.

14 MS. BIDWELL: In a lot of cases they will have
15 to go to civil court to become financially whole.

16 MR. MILFORD: Good point. It may or may not be
17 relevant, but in just looking at some notes, you know,
18 let's say if a warranty can't be satisfied or, you know,
19 there's some other failure, I'm looking at a Connecticut
20 program, it's a leasing program, this is not new homes.
21 And I should know more about how this works exactly, I
22 think this was really for inverters, where a fund was
23 established. Basically, the State dedicating some
24 portion of the SRECs to a fund that would be set up in
25 the event that there was an inverter failure so, you

1 know, there was some pot of money at least available to
2 consumers to tap into to pick up the cost of an inverter
3 failure.

4 And I'm not sure if that was individuals, you
5 know, that is whether it was a pot for an individual or
6 a generic one. I can get you more information about
7 that, but at least it's something to consider as a
8 backstop, perhaps.

9 COMMISSIONER PETERMAN: You know, that's
10 interesting, I think we would like more information on
11 that because, indeed, one of the differences with the
12 pool industry, number one, is that people appreciate the
13 value of a pool in the Sacramento area.

14 And when we have these still maturing industries
15 anything that stops the market can be problematic. I
16 mean we faced that situation with the ERP program when
17 we had to suspend it, and there was concerns about
18 performance.

19 So, even though I think there was recourse
20 within the court system, we'd like to think if there are
21 things that we can do in advance to provide more
22 assurance. So, I think that's a good point and
23 something we can continue to consider.

24 MR. WEINGARTEN: Yeah, I mean just one item.
25 With the proliferation of third-party ownership it

1 creates, again, a backstop, if you will, because those
2 third-party owners, they're probably just as concerned,
3 if not more concerned, than the customer in making sure
4 that those systems are operating.

5 So, that's an added feature that you may not
6 have had in industries that you might be looking at,
7 like the pool industry.

8 I mean once you sell a pool that's it. I mean
9 there may be an O&M relationship there but, again, it's
10 probably not generating enough revenue that somebody
11 really, really cares.

12 Here, there's real revenue generating off that
13 asset that's a 30-year asset, so there's somebody that
14 has an interest in swapping out the inverter and
15 replacing panels that are broken.

16 COMMISSIONER MC ALLISTER: Is there a
17 contractual mechanism for that, like a -- so the PV
18 provider goes out of business --

19 MR. WEINGARTEN: Yeah, so in the fund
20 structures --

21 COMMISSIONER MC ALLISTER: -- how would that
22 then transfer to some new owner, how would that owner --
23 or how would that new provider step in and take over
24 that system?

25 MR. WEINGARTEN: In third-party ownership, in

1 most of the models that are out there you have an
2 investor, they invest in a fund that has lots of assets,
3 hundreds of thousands of system. They own equity, they
4 own those systems for the period of that lease for 20
5 years.

6 So they, in turn, sign a maintenance contract
7 with a SolarCity, or a SunRun, or whomever and that
8 company, that leasing provider, if you will, operates
9 the asset for the 20 years of service.

10 If that provider fails to provide quality
11 service or they can't replace the inverter or
12 something's broken, the only way that that investor gets
13 paid their money -- now, granted, we've talked about
14 prepaid leases here, but these prepaid leases get lumped
15 in with a lot of other assets that aren't prepaid.

16 So, the only way that that third-party investor
17 earns their return is by making sure that that asset
18 continues to perform.

19 So, if the service provider fails for whatever
20 reason, goes out of business, bankrupts, doesn't do a
21 good job, they will get replaced. And there is a
22 contract between the fund and the owner of the fund, and
23 that operator to make sure that happens. Yeah, they
24 have the ability to just default, remove and then
25 replace.

1 COMMISSIONER MC ALLISTER: Great, thanks.

2 MR. ATALLA: Commissioner, I'm not sure that
3 this example will address the specific question, but I'd
4 like to just submit it for example.

5 COMMISSIONER PETERMAN: Oh, please.

6 MR. ATALLA: A couple of years ago there was an
7 inverter that a certain manufacturer model of inverter
8 that caught fires, and there was a recall from that
9 manufacturer. Of course, as a builder we -- when we
10 contract for systems, we don't really contract
11 specifically for a specific inverter, our provider can
12 put in whichever model they choose.

13 But it was something that we had to be
14 responsible for to some extent, and we called our
15 service provider and asked them to run through each home
16 they installed, which models, and to see where they need
17 to replace inverters.

18 So, the requirement, perhaps, is a good robust
19 recordkeeping of models and components by the service
20 providers is a good mechanism here for future cases of
21 this sort.

22 COMMISSIONER PETERMAN: That makes sense. And,
23 you know, what you were talking about also made me think
24 about the fact that we have a list of eligible
25 equipment, modules and inverters to participate in one

1 of the incentive programs, and so there is some
2 monitoring of part of that.

3 But as we move towards the industry being self-
4 sustaining, we need to think about what are the
5 implications in the 2017, 2018 if those will stop, and
6 what role the State may have in still maintaining
7 something like that, even if it's not tied directly to
8 an incentive program, so something for us to think in
9 the longer term about, as well.

10 MR. SAXTON: Yeah, I was wondering maybe, Eric,
11 if you could just talk briefly about the extent to which
12 a company like yours does technology evaluation and
13 reserves for warranties and maintenance?

14 I tend to think those are things that smaller
15 players would be very challenged to do.

16 MR. WEINGARTEN: I can't speak to the smaller
17 players, but certainly the technology evaluation is
18 ongoing for any of the players in the leasing and the
19 PPA industry.

20 The investors demand certain equipment, there's
21 certain equipment that is authorized to be used within
22 the individual funds. All that equipment has
23 performance requirements that's built into the financing
24 documentation.

25 So, yes, there is testing. Over the years

1 various different players have decided certain modules
2 are no longer good enough because either they're no
3 longer efficient enough, or they perform well, or they
4 have defects issues. I'm very aware of the issue that
5 you mentioned, Jacob, and the industry moved away from
6 that inverter.

7 So, yes, to answer your question, it's done.
8 And the investors require it and, even if we didn't, and
9 we do, but the investors would.

10 MR. SAXTON: Maybe could we generalize that
11 these so-called bankable modules are 15 to 20 percent of
12 the universe of available modules? I guess I just want
13 to get to it's a -- a company, like yours is, that field
14 of allowable equipment is rather narrow compared to the
15 universe of equipment available; do you think that's a
16 reasonable statement?

17 MR. WEINGARTEN: Yeah, I couldn't tell you the
18 number or the percentage. And if you wanted the
19 percentage we could probably provide that for you in
20 further discussion.

21 But I think it is accurate to say that the
22 universe of what's acceptable from a bankability
23 perspective is smaller.

24 It's really less on performance. It's somewhat
25 related to performance in history. It's more

1 bankability in terms of is that company going to be
2 around? What's their capitalization level? You know,
3 we were talking about capitalization levels -- it's
4 funny, we're talking about capitalization levels here
5 but we have those -- everybody in this industry has, you
6 know, those capitalization conversations with investors
7 and they care about that.

8 COMMISSIONER PETERMAN: You know, I think that's
9 a good distinction to make, as well, because with the
10 equipment I mean there are standardized tests,
11 internationally standardized tests.

12 And in some like other emerging renewables
13 there's not. So, looking still for continual certified
14 testified for small wind, for example.

15 And so I think in the PV market there's more
16 certainty around equipment performance, but then to get
17 to the next question of bankability in terms of the
18 actual manufacturing company, themselves, which is
19 another level to look at.

20 MR. WEINGARTEN: Yeah, I think from a technical
21 perspective the industry is relatively mature in terms
22 of how the equipment works, and how efficient it is, and
23 the safety standards.

24 Where it's not as mature is in the consolidation
25 and in terms of the balance sheets of the companies and

1 that's where you're headed to next.

2 MS. HUTCHISON: All right, anything else on
3 warranties? Okay, then we'll move on to question three.

4 Okay, what information is needed to help
5 consumers decide if solar is appropriate for their home?
6 A, what information is provided to a customer when they
7 are considering installing solar?

8 And, B, what information do we need to help
9 consumers decide on the appropriate financing level for
10 them?

11 COMMISSIONER PETERMAN: Anyone who has bought,
12 has a solar PV system on their home would like to
13 comment on what they did not hear? You don't have to
14 identify who your system was from, but feel free to come
15 to the table, as well, and be a panelist.

16 MR. ATALLA: So, I'll go back to the EPG, the
17 Energy Performance Guide. We use it not just to
18 showcase the energy efficiency of the home and how much
19 it will save versus a resale, but we use -- so, we put
20 that sticker for the base home, which is an Energy Star
21 home. And then if we are trying to sell solar for that
22 home, if solar is an option, we then develop the same
23 EPG, do the energy modeling so that we can -- and we
24 plug in at the 1.8, the 2.2, the 3.X systems, and we
25 extract out of the system what would be the utility

1 bill, the lower utility bill if these systems are in.

2 So, it's all about the dollars conversation and
3 we show them that lower EPGs, if they go with the
4 systems, at the different sizes of systems.

5 In our case that's the initial level of
6 conversation then we go into other things such as the
7 Federal Tax Credit, the property tax reduction they can
8 get, and so on, and so other benefits as well.

9 And that's -- some of that is canned in a
10 presentation, a digital presentation.

11 MR. WEINGARTEN: I think there's two scenarios,
12 there's the information that's provided to the customers
13 that are buying homes versus what the retrofit customer
14 gets.

15 The retrofit customer will get, I think, three
16 different options. They'll get an option that shows
17 what it would cost under a cash scenario, a full prepay
18 and then a partial prepay, a custom kind of scenario,
19 and they can take a look at lease and PPA.

20 But I think the key thing here, and this is just
21 in terms of, you know, where we go to protect customers
22 is just clarity. I mean that's something -- I mean
23 that's my job, that's one of the things I do every day
24 is I get questions from people about how do we market
25 this product, how do we do this, how do we do that,

1 questions from sales people, and the key is just
2 clarity.

3 And I think the more that it's specific clarity
4 to us about what we need to provide to customers, you
5 know, what do you have to tell them? And I know that
6 the Commission has provided that guidance and staff has
7 provided that guidance so, well, how does the lease
8 benefit you? How does that incentive benefit you? How
9 is the price being reduced by that incentive?

10 That is helpful guidance in making it clear to
11 us, in the industry, what we need to say and making that
12 standard apply the same to everybody.

13 and I think the more guidance that we can get in
14 terms of how we need to provide information to the
15 customer, and standardize that, it makes it easier for
16 us to do that and it makes it seamless for us, then we
17 don't need to ask questions and we're not resistant to
18 being clear. I mean we're happy to be clear to
19 customers.

20 COMMISSIONER PETERMAN: And I'll just -- you
21 know, one of the things in terms of information that I'm
22 interested in exploring is I've heard anecdotally from
23 some consumers, or PV customers that they felt they --
24 were given misinformation about the cost savings, but in
25 particular the compensation they would receive from

1 their utility. And some of those rules are changing in
2 real time at the PUC, and it does really vary across
3 utility on your marginal rate, et cetera.

4 But I've heard less questions about the product
5 and more about kind of the financial story that's being
6 sold.

7 So, that's just one thing I'll mention and I'm
8 curious if you've heard similar things.

9 And I'll ask the Contractors State License
10 Board, have you gotten complaints -- you know, in
11 addition to equipment do you get complaints about the --
12 yeah, the expected overall cost? And I think this will
13 come up with energy efficiency, as well. And it's
14 particularly challenging in new homes where you don't
15 have the energy usage history to tie to, as well.

16 MR. WEBER: Yeah, I can state from the
17 Contractors Board perspective, most of the complaints we
18 do receive is the retrofit market, as you stated.

19 And as you also stated, there's some
20 misrepresentation or at least alleged misrepresentation
21 on behalf of homeowners on the dollar amount of rebates
22 they're going to receive.

23 And we also receive complaints, and I can't
24 remember the gentleman's name that was speaking about
25 this, but output versus dollars. They get -- it might

1 be a verbal statement that they're going to receive X
2 amount of kilowatts. Well, those sophisticated enough,
3 when they don't receive that, we do get complaints on
4 that issue.

5 Also, we've gotten complaints on systems being
6 under-sized. After they do further research, they
7 realize that their system was not the proper size for
8 the area.

9 So, those are some of the complaints we receive.
10 But I have to tell you we do not receive a large volume
11 of complaints from the solar industry.

12 COMMISSIONER PETERMAN: That's good news.

13 MR. WEBER: Yeah.

14 COMMISSIONER PETERMAN: Yeah, that's a
15 definitely a good point to bring home. And I think
16 we're here today just to make sure that continues to be
17 the case.

18 COMMISSIONER MC ALLISTER: So, can I make a
19 comment?

20 COMMISSIONER PETERMAN: Please, go ahead,
21 Andrew.

22 COMMISSIONER MC ALLISTER: So, I'm sorry, what's
23 the gentleman's name on the CSLB?

24 COMMISSIONER PETERMAN: Actually, I do not know.
25 He's on my paper as "Jane," but I don't think that's it.

1 MR. WEBER: It's Scott.

2 COMMISSIONER MC ALLISTER: Scott, yeah. This is
3 Andrew McAllister.

4 So, I think, you know, we talked about energy
5 efficiency and solar in a previous panel, but I think to
6 the extent that the -- and I was going to bring this up
7 in the previous panel, about warranties, but I think it
8 really is -- so, there's a balance between sort of -- we
9 need to figure out how best to enforce, you know -- not
10 just a compliance with program code, but just if we're
11 going to offer rebates, we're going to encourage
12 contractors to get out there. We need to place some
13 incentives for a contractor to actually behave out there
14 in the marketplace.

15 And I really feel like, you know, in my previous
16 incarnation, working on the CSI, which was the retrofit
17 solar program, I know we had worked with the CSLB a lot
18 to share information and sort of help the tracking of
19 the complaint process, and even just checking to see if
20 the licenses were up to date and in good standing.

21 And I think that, just in and of itself, the
22 contractors knowing we were checked really helped a lot
23 to keep them at least with some sense that they had to
24 behave themselves out there in the world.

25 It didn't always work. Of course, there were

1 bad actors out there that we had to then deal with.

2 But I think in -- I'm interested in exploring
3 this further and any comments you have on what your
4 action -- what your enforcement abilities or pathways
5 actually are to then get misbehaving contractors in
6 line, it would be really helpful to hear in somewhat
7 more detail.

8 And I'm interest not only for the solar side of
9 things, but also for the HVAC contractors, which I would
10 imagine -- and just the building industry more broadly,
11 which I imagine you'd probably get a larger flow just
12 given the quantity of projects out there.

13 MR. WEBER: Well, you've brought up HVAC. I can
14 speak to the HVAC, we've been very aggressive in the
15 HVAC industry. A large problem with HVAC permits -- or
16 HVAC installs, you're probably aware, is a failure to
17 pull building permits.

18 And because of that, the systems aren't as
19 efficient as they could be.

20 The Contractors Board has participated in four
21 building permit stings where we call out contractors
22 that have given us probably cause to believe they're not
23 obtaining building permits, and it's an undercover
24 operation and we ask questions about obtaining building
25 permits.

1 And you also asked what kind of actions do we
2 take? We have issued administrative citations, they
3 range from \$200 to \$5,000, and they're disclosable on a
4 contractor's license for five years. So, that is a
5 deterrent for a contractor to not do the right thing.

6 We do and have since 2010 put a priority on
7 building permits and that would include, you know, solar
8 permits.

9 We don't get a lot of complaints for a failure
10 to pull solar permits.

11 We also have the ability to take a license if a
12 contractor's not heeding. We do use progressive
13 discipline. We will try to warn the contractor in the
14 first instance, generally, to go to an administrative
15 citation in the next instance. And if the contractor's
16 failing to heed our warnings, they could ultimately have
17 their license taken away. So, those are some of the
18 actions we could take against a contractor.

19 But again, we deal with progressive discipline.

20 COMMISSIONER PETERMAN: Let me ask an intro --
21 thank you, that was really helpful.

22 COMMISSIONER MC ALLISTER: Thank you, that was
23 great.

24 COMMISSIONER PETERMAN: Even before you get to
25 your measures, you know, the progressive discipline, I'm

1 curious what you've heard from those who have complaints
2 about PV projects, how they were able to identify they
3 had a problem to begin with?

4 And so you noted, for example, that you've
5 gotten a complaint that the systems are under-sized, or
6 the incentives are not what they should be.

7 MR. WEBER: Uh-hum.

8 COMMISSIONER PETERMAN: And do you know if
9 customers know this because they went and got a second
10 opinion or they asked, they did internet research, you
11 know, how do we get them even to make us aware that
12 there is a problem?

13 MR. WEBER: Right, most of the times in those
14 types of complaints they talk to somebody and they did
15 internet research after the fact, you know, after it was
16 installed, maybe buyer's remorse, I don't know, but they
17 should have done it up front, but they end up doing it
18 afterwards.

19 And a lot of times they're just talking to
20 somebody else that had an experience and they realize
21 that, you know, maybe they didn't get the right system
22 in, they didn't get the proper rebates.

23 And we do get complaints, like I stated earlier
24 where -- and I don't know if this is going on as much
25 now, because like I said the solar industry's been

1 pretty good, but we have had a lot of complaints that
2 there's been verbal promises by sales people that
3 haven't come to fruition, so that was an issue at one
4 time. I don't see as many of those anymore.

5 MS. BIDWELL: And I'm just going to add in there
6 that if we do end up opening up a case, they'll be able
7 to use subject matter experts or industry experts to go
8 out and make that determination of what may be deficient
9 in a system.

10 COMMISSIONER PETERMAN: I was just curious about
11 the following statistic, if you happen to know it, and
12 how many active solar licenses are there right now in
13 California?

14 MR. WEBER: Oh, that's a great question and I do
15 not have that information available, I'm sorry. I could
16 follow up with you, though.

17 COMMISSIONER PETERMAN: Yeah, that would be
18 great, just follow up with our staff. I'm just trying
19 to get a sense of how those numbers are changing over
20 time. Thank you.

21 Elizabeth.

22 MS. HUTCHISON: Are there any comments from the
23 audience, on the WebEx or --

24 MR. NESBITT: George Nesbitt, a couple of
25 things. As I've said, I certified the first new single-

1 family net zero energy home in California last year, and
2 the Energy Commission and our two Commissioners signed a
3 nice proclamation and sent it to staff for the big grant
4 opening.

5 But I haven't seen it used in any other
6 marketing. I haven't seen it in the Go-Solar
7 newsletter.

8 You know, Heschong Mahone Group for the multi-
9 family efficiency rebate, you know, sends out and
10 highlights a project every month. You know, you'd think
11 if we want to drive consumer demand for net zero energy
12 homes, we'd take one and we'd use it.

13 So, then on warranties, I have had customers
14 who, in years past, had some early panel failures and I
15 think in some cases the installer had gone out of
16 business. And so while the manufacturer may have
17 covered the product, there might have been nothing there
18 for labor for switching it out.

19 I'm actually a licensed general contractor, and
20 the License Board does have a bonding. And the pool
21 contractors actually have to have a bond. Although, you
22 know, I guess in theory that money is there for things
23 that go wrong, but it's 12 and a half thousand dollars.

24 So, if you do really have someone with a lot of
25 problems, that won't cover it.

1 And so in that sense perhaps having, you know,
2 within the program some fund that when there are early
3 failures that if, for some reason, a manufacturer goes
4 out, an installer goes out, you know, that someone isn't
5 totally left hanging.

6 COMMISSIONER MC ALLISTER: Can I just get in
7 there, the solar industry, itself, has actually -- that
8 possibility keeps coming up and it's really, you know,
9 to the discussion we had before where, you know, you've
10 got a backstop if you have a PPA or a leasing model. It
11 doesn't really exist out there in the case market.

12 It's really -- I think one of the options there,
13 I think, is possibly to get -- for the solar industry to
14 sort of band together, at least the most responsible
15 members of it, for the sake of the brand of their
16 industry.

17 And then I guess it would be interesting to hear
18 from any of the companies in the audience whether or not
19 that they that that's a realistic to try to do and, you
20 know, pitch in and sort of get a fund that can take
21 these systems and make them whole, just as the right
22 thing to do for the industry.

23 MR. NESBITT: Yeah, it can create a lot of
24 goodwill. I think in San Diego there were a lot of
25 unhappy customers because it used to be required to go

1 to time of use, and a lot of customers didn't buy, or
2 couldn't afford, or didn't have room for a system that
3 was big enough to give them positive production during
4 peak, and they ended up with higher bills. And they
5 were undoubtedly sold the PV system on lowering their
6 bills.

7 COMMISSIONER MC ALLISTER: That was actually the
8 end of an empire because that was Edison territory,
9 yeah.

10 MR. NESBITT: Oh, okay. And then sort of a last
11 thing, although we've sort of touched on it, you know,
12 HERS verification. Part of warranty and consumer
13 protection is, you know, the HERS verification.

14 I, literally, have not had a project where there
15 has not been some issue. Usually, often, mostly with
16 shading, although I had one multi-family project where
17 they had no shading and I did the shading as best as I
18 could and it cost \$15,000 off the rebate.

19 Now, I don't know if the contractor ate it or if
20 the affordable housing developer ate it. I know I don't
21 think I've gotten any calls, referrals through that
22 installer really since.

23 And I gave them options, you know. They says,
24 well, we get blamed -- there's rules for shading, right.

25 So, verification, I mean I've done monitoring

1 verification of utility rebate programs.

2 I think we know and we have the HERS for a lot
3 of things that -- making sure that things are done right
4 and well is very important and I think perhaps what we
5 could go to is an installer-based sampling at some
6 point, perhaps, rather than job-by-job, so that -- you
7 know, but like I say most jobs end up, especially with
8 shading, because that gets to be complicated, especially
9 on new construction, predicting what it's going to be
10 like on that roof when it's built, and all the things or
11 shading from structures or trees is almost impossible.

12 So, it's a really important part of the whole
13 process. And actually, I think also, potentially a
14 place that we can use to streamline some of the process,
15 especially when there are the changes when we do
16 verification and so that we don't have rebates sitting
17 for weeks and months after -- you know, I've done my
18 job, but I can't finish because of the paperwork trail.

19 COMMISSIONER PETERMAN: Thank you.

20 Any other comments from the audience or on the
21 line?

22 Well, Elizabeth, let me turn it back to you and
23 see if you have any final comments or if the panelists
24 have any final comments before we wrap up.

25 MS. HUTCHISON: Okay, I just have one last

1 slide.

2 COMMISSIONER PETERMAN: Well, while this slide
3 is being pulled up, because I think it's our concluding
4 slide, then let me say thank you very much to all the
5 panelists today. And many of you did multiple duty, on
6 multiple panels, so we appreciate that.

7 I've been wanting to have a workshop like this
8 for a while, and I'm really glad we had it. It's been
9 incredibly informative to me and I imagine, as well, to
10 staff. I'm excited that we have a transcript because
11 too much information to write down.

12 Indeed, I think we're touching upon issues, you
13 know, as Lew has noted, that other states are wrestling
14 with as well, or other states haven't even gotten to,
15 yet, because their markets are not growing the way
16 California's is.

17 And, ultimately, the Commission is focused on
18 making this program as successful as it can be and
19 developing some guidelines and best practices that will
20 be useful once solar is no longer being incentivized
21 through public programs.

22 And I think a lot of the discussion we've had
23 today, in terms of how this PV coordinates with energy
24 efficiency, coordinates with local and state policies,
25 as well as how we think long term about consumer

1 protection are important areas for us to address in this
2 Guidebook and this program going forward.

3 I think, also, we've benefitted from having a
4 diversity of panelists and I appreciate that this input
5 is important to the program, and so we will look to some
6 type of task group or a stakeholder regular meeting,
7 where we can engage the various stakeholders.

8 So, continue to stay involved with us, we
9 appreciate your comments and the hard work you're doing
10 to make this program successful.

11 And, finally, let me say a sincere thank you to
12 the staff, the Renewables and Energy Efficiency Division
13 staff for putting together a great agenda and providing
14 very comprehensive background material.

15 A lot of the information in these slides is new
16 to me and I look forward to taking a close look so,
17 thank you.

18 Any final comments, Commissioner McAllister?

19 COMMISSIONER PETERMAN: And thank you,
20 Commissioner McAllister, for joining with me and I'm
21 looking forward to working with you on zero net energy
22 issues, or net zero energy issues, if you will. Thank
23 you.

24 MS. HUTCHISON: Thank you, Commissioners.

25 If you'd like to submit written comments, you

1 can do so by e-mailing or mailing to docket
2 energy.ca.gov, and recording that in at energy.ca.gov,
3 and if you could do so by 4:00 p.m. on December 19th,
4 2012.

5 Thank you all for attending, have a good
6 evening.

7 (Thereupon, the Workshop was adjourned at
8 4:55 p.m.)

9 --oOo--

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25