

STATE OF CALIFORNIA - THE RESOURCES AGENCY
BEFORE THE
CALIFORNIA ENERGY COMMISSION (CEC)

California Energy Commission

DOCKETED
13-IEP-1L

TN # 2926

MAR. 11 2013

In the matter of,)	Docket No. 13-IEP-1C
)	Docket No. 13-IEP-1L
2013 Integrated Energy)	
Policy Report)	RE: Electricity, Natural
<u>(2013 IEPR)</u>)	Gas, and Transportation Demand
		Forecast Inputs

**LEAD COMMISSIONER WORKSHOP ON
ECONOMIC, DEMOGRAPHIC, AND ENERGY PRICE INPUTS
FOR ELECTRICITY, NATURAL GAS, AND
TRANSPORTATION FUEL DEMAND FORECASTS**

California Energy Commission
Hearing Room A
1516 9th Street
Sacramento, California

Tuesday, February 19, 2013
10:00 A.M.

Reported by:
Kent Odell

APPEARANCES

COMMISSIONERS

Robert B. Weisenmiller, Chair, CEC
Andrew McAllister, Lead Commissioner, CEC
Michel Florio, Commissioner, CPUC

STAFF

Suzanne Korosec, CEC
Ivin Rhyne, CEC
Leon Brathwaite, CEC
Chris Kavalec, CEC
Malachi Weng-Gutierrez, CEC
Tim Olson, CEC
Ryan Eggers, CEC
Asish Gautam, CEC

Gerhard Achtelik, California Air Resources Board

PUBLIC COMMENT (* Via WebEx)

Tim Tutt, Sacramento Municipal Utilities District (SMUD)
Leon Manuel, Southern California Edison (SCE)
Richard Stevie, Duke Energy
Xiabo Wang, California Independent System Operator (CAISO)
*Amir Angha, Southern California Edison (SCE)
*Jairam Gopal, Southern California Edison (SCE)
*Mia Vu, Pacific Gas & Electric Company (PG&E)
Sierra Martinez, representing Natural Resources
Defense Council (NRDC)
Alan Sanstad, Lawrence Berkeley Laboratory
Tim Vonder, San Diego Gas & Electric Company
*Richard Meyers
*Dina Mackin, California Public Utilities Commission

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

INDEX

	Page
Introduction	
Suzanne Korosec, IEPR Lead	4
Opening Comments	
Lead Commissioner Andrew McAllister, CEC	4
Chair Robert B. Weisenmiller, CEC	9
Commissioner Michel Florio, CPUC	10
Overview and Summary of Coordination Activities	
Ivin Rhyne	10
Natural Gas Assessment - Key Drivers	
Leon Brathwaite	22
Economic and Demographic Assumptions	
Chris Kavalec	74
Retail Electricity Prices and Other Assumptions	
Malachi Weng-Gutierrez	111
Transportation Energy Analysis - Key Elements	
Tim Olson	137
Zero Emission Vehicle Mandate Update	
Gerhard Achtelich, California Air Resources Board	150
Crude Oil (Petroleum Fuels) Price Assumptions	
Ryan Eggers	158
Adjournment	176
Reporter's Certificate	177
Transcriber's Certificate	178

1 P R O C E E D I N G S

2 FEBRUARY 19, 2013 10:11 A.M.

3 COMMISSIONER MCALLISTER: All right, so I want
4 to call this IEPR Workshop to order and kick it off,
5 well, I'll just say welcome, this is the first
6 Commissioner workshop in this cycle of the IEPR for
7 2013; it's a pleasure to have you all here. Feel free
8 to move up to the front row, don't be shy.

9 And with that, my name is Andrew McAllister, a
10 Commissioner here at the Commission. Chair Weisenmiller
11 is with us. And I would also welcome CPUC Commissioner
12 Florio, who we're very fortunate to have with us here
13 today. This is a really important topic and I'm looking
14 forward to digging in to the details and appreciate all
15 the hard work of staff having put it all together. So,
16 I'll pass it off to Suzanne Korosec.

17 MS. KOROSEC: All right, good morning everyone.
18 I'm Suzanne Korosec. I manage the Energy Commission's
19 Integrated Energy Policy Report Unit. So welcome to
20 today's workshop on Economic, Demographic, and Energy
21 Price Inputs for the CEC's Electricity, Natural Gas, and
22 Transportation Fuel Demand Forecasts.

23 I do want to especially welcome Commissioner
24 Florio, who was kind enough to make the drive from the
25 Bay Area to join us today.

1 As Commissioner McAllister said, this is our
2 first Lead Commissioner workshop under the 2013 IEPR
3 Proceeding, but we have already had two staff workshops,
4 one in October on Forms and Instructions for Data
5 Submittals, and one in late January on California's
6 Economic and Demographic Outlook.

7 A few quick housekeeping items before we begin.
8 Restrooms are in the atrium out the double doors and to
9 your left. Please be aware that the exit door near the
10 restrooms is for staff only and will set off an alarm if
11 you try to leave the building that way. There's a snack
12 room on the second floor at the top of the atrium
13 stairs, under the white awning, for coffee. And if
14 there's an emergency and we need to evacuate the
15 building, please follow the staff out of the building to
16 Roosevelt Park, which is kitty corner to the building,
17 and wait there until we get the all clear signal.

18 Today's workshop is being broadcast through our
19 WebEx Conferencing System and parties should know that
20 you are being recorded. We'll make an audio recording
21 available in a couple of days on our website and a
22 written transcript will be posted on the website in
23 about two weeks.

24 We plan to break for lunch around noon and we've
25 set aside time at the end of the day for public

1 comments. During the public comment period, we'll take
2 comments first from those of you here in the room, and
3 then we'll follow it up by people on WebEx. When you're
4 making comments or asking questions, please come up to
5 the microphone at the center podium so that people on
6 WebEx can hear you, and so we capture your comments in
7 the transcript.

8 It's also helpful when you come up to speak to
9 give the Court Reporter your business card, so we make
10 sure that we attribute comments to the correct speakers
11 and that we spell your name right.

12 For WebEx participants, you can either use the
13 chat or raised hand functions to let our coordinator
14 know that you'd like to speak, and we'll either relay
15 your question or open your line at the appropriate time.

16 We're also accepting written comments on today's
17 comments until the close of business on March 5th, and
18 the notice for today's workshop is available on the
19 table out on in the foyer, and also on our website, and
20 it describes the process for submitting comments to the
21 IEPR docket.

22 Just some very brief context for today's
23 workshop. An integral part of the CEC's biennial IEPR
24 is our forecasts of future energy demand growth for
25 electricity, natural gas, and transportation fuels. The

1 building blocks for those forecasts are the input
2 assumptions, which obviously have a major impact on the
3 results. This workshop underscores our commitment in
4 the 2013 IEPR to coordinate assumptions across the
5 various forecasts here at the CEC, and also to reach out
6 to others to get the best possible inputs to improve the
7 usefulness of the forecasts.

8 We recognize that there's a lot of uncertainty
9 in any forecast, and one of our tasks is to strike a
10 balance between reflecting that uncertainty and coming
11 up with something that's useful to decision makers.

12 We also want to be very clear about our analytic
13 approaches, our methods, and our inputs, so that
14 everyone understands what's driving the differences
15 between our forecasts and others.

16 So our agenda today is pretty straightforward,
17 starting with an overview of coordination activities
18 here at the CEC to develop consistent cases to be used
19 in the three forecast areas. We'll then hear about key
20 drivers for the Natural Gas Assessment, followed by our
21 lunch break around noon. If we do get done with our
22 natural gas presentation before noon, we'd like to open
23 it up for public comment if there's time to do that, so
24 that people that may not be able to stay until the end
25 of the day can have a chance to make some comments.

1 After lunch, we'll have presentations on
2 Economic and Demographic Price and Other Assumptions,
3 and then move into the transportation portion of the
4 agenda covering Transportation Energy Fuel Analysis, the
5 Zero Emission Vehicle Mandate, and Crude Oil Price
6 Assumptions.

7 We'll then have an opportunity for public
8 comments and expect to adjourn around 5:00. We do have
9 one slight change to the agenda. Ms. Bevan from the ARB
10 is ill and unable to attend, and she will be replaced by
11 Gerhard Achtelich.

12 We also have several workshops planned over the
13 next few months on these topics, including a workshop on
14 the Natural Gas Modeling Scenarios on April 24th,
15 followed by a June 4th workshop with draft results of
16 that effort; a workshop on Preliminary Electricity and
17 Natural Gas Demand Forecasts that is scheduled for May
18 30th; and a workshop on Inputs and Assumptions for the
19 Transportation Energy Demand Forecast on June 22th,
20 followed by an August 7th workshop on the draft results
21 of the analysis.

22 So we've got a lot to get through today, so I'll
23 turn now to the dais for opening remarks.

24 COMMISSIONER MCALLISTER: Great. Well, thank
25 you very much. I'm really looking forward to today's

1 discussion, as Lead Commissioner on the 2013 IEPR. A
2 lot of meaty topics here not only today, but throughout
3 the season here for the IEPR, and many of them, well,
4 all of them are important, this one in particular I
5 think is very critical to what we do with all the
6 different forecasts. And we're very fortunate to have
7 Commissioner Mike Florio from the PUC with us today, and
8 definitely looking forward to his participation and
9 input here, and in an ongoing fashion, as well, with the
10 staff and Commissioners at the PUC.

11 The forecast is fundamental foundational work
12 for us here in the state, everybody uses it, and it
13 starts here with this process. So without further ado,
14 I'll ask Chair Weisenmiller and Commissioner Florio if
15 they have some opening comments, as well.

16 CHAIRMAN WEISENMILLER: Yeah, I was going to say
17 that when you look at the IEPR pieces, I think the
18 forecast is one of the critical ones in the sense that,
19 by statute, other agencies are directed to rely upon it
20 and at the same time it is a pretty awesome
21 responsibility for the Energy Commission.

22 These are times of great uncertainty in the
23 Demand Forecasts. When you look at the economy and you
24 look at energy efficiency, you look at ZEVs, you look at
25 climate change, and you look at all the pieces, there's

1 just, I think, much deeper uncertainty than we've
2 historically had. And, so, we need to make sure that
3 our forecasts certainly support a dynamic California
4 economy, but at the same time that we don't over-
5 estimate the forecasts.

6 And so it's a real tension to come up with
7 something that reflects the overall uncertainty, but
8 also comes up with a reasonable case for everyone to
9 base their planning on. And again, I'd like to
10 certainly welcome Mike Florio here.

11 COMMISSIONER FLORIO: Thank you. It's a
12 pleasure to join you here for this important kickoff
13 meeting. We do use the Energy Commission Load Forecast
14 in many aspects of our work at the Public Utilities
15 Commission, so I think it's important that we at the PUC
16 have an understanding of the building blocks that go
17 into it. And I'm looking forward to learning a lot
18 today and having a greater appreciation for the
19 difficult issues that you folks have to sort out. So a
20 pleasure to be here.

21 MR. RHYNE: All right. So good morning,
22 Commissioners, members of the public, stakeholders. My
23 name is Ivin Rhyne. I'm the Manager for the Electricity
24 Analysis Office here at the California Energy Commission
25 and I'll be giving an overview of the work that we're

1 doing and the reasoning behind it in terms of developing
2 these common cases and kind of why we're going in the
3 direction we're going.

4 We're going to cover three basic topics today.
5 First is just fundamentally what are we doing and why
6 are we doing it to develop these IEPR common cases, an
7 overview of the common case methodology and a short, a
8 brief discussion without numbers, of some of the common
9 case input assumptions.

10 Really, our focus here today is to talk about
11 the connective tissue between each of these models.
12 We're going to talk a little bit -- I'm going to talk a
13 little bit -- about some of the limitations in
14 attempting to do this work, as well as some of the
15 opportunities that it presents.

16 So the first point I'd like to raise, actually
17 it builds a little bit on what Chairman Weisenmiller was
18 just saying in that any forecast has to deal with
19 uncertainty. One of the uncertainties that we have to
20 deal with in this is that the energy sector has become
21 very large, very complex, and very interdependent. We
22 could no longer talk about any one policy, or any one
23 sector in complete isolation from the others.

24 Now, in this kind of large and complex world
25 that we live in, this has kind of led to some fractured

1 analysis; it's led to having a little bit of a split
2 personality disorder when you start talking to specific
3 models. Partially this is because of the necessity of
4 simplifying areas outside of the model and digging into
5 the details that are within the modeling approach that
6 you're working on.

7 Our work here is an attempt to connect together
8 the expertise of different modelers from different
9 teams, in a reasonable way, and so that we can move
10 forward.

11 Primarily, we're building three cases that
12 really are meant to easily translate across each of the
13 energy sectors. This provides a stronger basis for
14 policy discussions because we can say at the end of the
15 day that, when I talk about the assumptions or the
16 results from one model in this particular case, I can
17 translate it to some extent over and look at how the
18 results of, for example, the electricity sector, or the
19 natural gas sector, reflect changes in the
20 transportation fuels sector.

21 Now, fully integrated modeling, the kind of
22 modeling that people think when you talk about perhaps
23 one at the National Labs, or the Department of Energy,
24 really require some vast resources, resources meaning
25 both personnel-wise, and computing-wise, data-wise, all

1 of these things here, and that's not something that
2 we're ready to jump into. We're not attempting to
3 create this one model to rule them all type of approach.

4 Rather, what we're attempting to do is expand on
5 coordination activities that were begun in the 2011
6 IEPR, where we started out with just some basic and
7 common economic and demographic assumptions, and we're
8 building a bit on that.

9 Now, in order to build these common cases, we
10 need to define what it is we mean by a common case and
11 define what we mean by high and low. If I say I'm
12 talking about the high case, one modeling team might
13 think I'm talking about high price, another might think
14 I'm talking about high consumption, another might think
15 I'm talking about a high penetration of renewables; it
16 all depends, and so we need to be very clear.

17 The three IEPR common cases will be built around
18 high and low energy consumption. This is primarily
19 because our State policies around energy tend to focus
20 on consumption activities, rather than price. And so
21 we're going to be talking about high and low cases, but
22 we're also going to be talking about a reference case,
23 or business-as-usual.

24 This creates some interesting challenges because
25 in order to model, in order to build a tool that looks

1 out into the future, we have to start with some
2 assumptions about where we are today and where the
3 values that we're going to be looking at are likely to
4 trend out into the future. In other words, we have to
5 have some starters, some seed values.

6 So what we're doing in this case is we're
7 starting with two kind of updated pieces of seed
8 information: the first, we're going to talk about
9 recent natural gas production cost curves, and Leon
10 Brathwaite of the Natural Gas Team is going to talk
11 about some of the results that come out of that, which
12 we've obtained from Rice University, one of the
13 recognized experts in the field of estimating these
14 types of costs; but we're also going to look at updated
15 economic and demographic data that was provided as part
16 of -- or I should say it was raised as a part of -- a
17 workshop held by our Electricity Demand Forecasting
18 group.

19 Now this is, as I said, just starter values and
20 I want to be very clear about that because this is an
21 extremely simplified version of how this process is
22 going to work. Where we are today, we've used the Rice
23 University Production Costs and the Updated Economic and
24 Demographic Assumptions to start a first run, a very
25 preliminary run, of the North American Gas model that

1 our team here runs and operates. This produces a set of
2 natural gas quantities and prices that are then used as
3 inputs to other models.

4 As you can see from this simplified graph, it
5 goes into both the electricity demand and the
6 transportation demand models. Now, again, those boxes
7 are actually encompassing of a lot of work and a lot of
8 different models, so, just for the sake of simplicity
9 we've narrowed it down and compressed it all into a
10 single box.

11 From the transportation model, those outputs are
12 then used both as part of the electricity demand model,
13 so for example the electric vehicle estimates and the
14 demand required by those, but also by the North American
15 Gas model, again, because they are also alternative
16 transportation, things like natural gas powered
17 vehicles.

18 The electricity demand is used in part by our
19 electricity dispatch model to create an estimate of how
20 much electricity is going to be served by natural gas
21 and, of course, that value then feeds back up into the
22 North American gas model. Now, as you can imagine, by
23 the time that reaches back around to this beginning
24 point, a lot of those values that the gas team may have
25 started with have been changed and altered by the

1 various assumptions, inputs, and expert feedback that
2 have been elicited by each of those independent teams.
3 And so the gas team will then take that information, put
4 it back in along with any updated information, and
5 create another run -- or I should say another set of
6 runs.

7 This is an iterative approach, it is not meant
8 to converge everything down to a fully harmonious, and
9 everything converges to a single value, because we don't
10 have the time or the resources to do it. But it does
11 allow us to begin moving towards that convergence. It
12 begins to allow us to have outputs that are reasonably
13 aligned, consonant, you can say, with the inputs and
14 outputs of other models. Again, if we had unlimited
15 time and resources, if we could build super computers in
16 the basement, we might be able to get there. But for
17 now, this is the way that the process is going to work.
18 So this connective tissue, the areas between what do we
19 share, what don't we share, is important.

20 So we start with some common input assumptions,
21 some of which I've mentioned. We talked about Gross
22 Domestic Product, the GDP growth, Gross State Product,
23 the inflation rate, population growth, energy efficiency
24 improvements, Demand Response, carbon prices, and
25 weather. All of these inputs are easily shared across;

1 all of the models require them, and in a high
2 consumption or in a low consumption world they all align
3 generally, move in similar directions.

4 Now for these areas, there's no conflict,
5 there's no reason to have to resolve anything, we simply
6 agree on a value, we get feedback from stakeholders, and
7 we share that value across models. But as you can
8 imagine, it's never quite that simple for everything.
9 There are some tradeoffs that we have to make because
10 there are occasionally times when a high consumption
11 world in one model was actually more consistent with a
12 low consumption world in another model, or in another
13 sector.

14 And so, when we do this, we have to figure out
15 how we make a decision between which drivers -- which
16 direction do we move that value? So we are using what
17 we call the Major Driver Test. This is a relatively
18 straightforward test where, if the natural gas sector,
19 just as an example, uses an input value as its major
20 driver, it is a critical piece of the model, as opposed
21 to the other models which may see it as a minor driver,
22 then the model that uses it is a major driver, is the
23 one that wins the conflict. This allows us to get to
24 outputs through some sort of a kind of reasoned
25 approach, and allows us to talk about what this looks

1 like without having to make too many caveats.

2 So we did have some variables that required some
3 resolution. So, for example, electricity price -- and
4 I'll just use this one as a quick example -- as the
5 electricity price goes down, obviously that's going to
6 tend to have people want to purchase -- it'll make it
7 more economically efficient for them to purchase more
8 electricity, and so that leads to a higher electricity
9 consumption world.

10 But in the liquid fuels world, a lower
11 electricity price might also mean that people are more
12 willing to purchase and use electric vehicles, which
13 would draw demand away from those liquid fuels. At this
14 point, electric vehicles are a relatively small minor
15 driver in the larger world of liquid fuels, and so the
16 electricity model in this case is the one that wins out.

17 Similar for natural gas price, crude oil price,
18 electric vehicle penetration, coal price, and natural
19 gas vehicle penetration, each of those -- the values
20 selected for those -- are set by the model where it's a
21 major driver.

22 When we get results out of this, as we work
23 through these scenarios, these cases, the reference case
24 talks about -- or should represent -- a reasonably
25 expected trajectory given our best available input. And

1 the unspoken, unwritten piece there is following as many
2 iterations and delineations as we could reasonably do
3 with the resources we have. The high and low energy
4 consumption cases represent a reasonable range, but they
5 are not the most extreme cases. And that's precisely
6 because of the tradeoffs we've had to make. They don't
7 push the boundaries so wide precisely because in some
8 cases we've had to narrow it back in order to align
9 model assumptions between each of the different types of
10 models.

11 This interdependence of the energy sectors and
12 the choices that we have to make, as interesting and as
13 difficult as it is, at the end is meant to provide us
14 with a point where we can talk, again, across these
15 sectors when we look at policy choices in the IEPR; we
16 can have some at least reasonable understanding, a
17 beginning place, to have that part of the discussion.

18 So our next steps following this workshop, we're
19 asking for feedback from stakeholders. First, on the
20 reasonableness of the approach; do you have concerns
21 about how we're connecting the models? Are there
22 particular areas where you think it requires more
23 discussion, more iteration? Perhaps you are happy with
24 it and we'd love to hear that, as well.

25 We want to refine the input case definitions.

1 Right now, they are broadly defined and we have some
2 starter values that each of the modeling teams are
3 working with, but we'd like to make sure that we've
4 thought of everything and we certainly acknowledge that
5 there are more -- there's far more fire power in the
6 room today than we can bring to bear on any one problem,
7 and stakeholder input is a valuable part of that
8 process, so we very much appreciate feedback on that.

9 Each of the modeling groups will then begin
10 building other scenarios as needed. One of the key
11 things that I'd like to emphasize is that these three
12 common case scenarios are not limiting to any of the
13 additional scenarios that any division, or team, or
14 modeling group will be working on.

15 Each area of the energy sector has some specific
16 challenges, some interesting quirks, and some kind of
17 areas where we want to explore thoughtfully something
18 that perhaps isn't quite there in terms of the reference
19 case or the high and low. We will in each of the
20 individual workshops -- as Suzanne has pointed out, each
21 of them has multiple workshops -- we'll be discussing
22 those additional scenarios, so we're not limited in any
23 way to these three common case scenarios. These are
24 just kind of a point of connection between the modeling
25 groups and an area where we can move on.

1 So at that point, I'm going to stop and ask if
2 there are any questions from the dais.

3 COMMISSIONER MCALLISTER: So thanks, Ivin. I
4 guess I would just make a request, really, that I think
5 it's important that people -- many people in this room
6 are experts in their own right in one area or another,
7 but I think it would be good sort of foundational
8 background information to understand the kind of origins
9 and ownership of the models that are being used because
10 I think they all have important histories, there's a
11 reason why we're using these models, and yet they also
12 have their own histories. So on the one hand it's a
13 good thing because they're established in their own
14 field; on the other hand, it does mean that they're
15 unique kind of -- they don't necessarily fit together as
16 you said, nice sort of puzzle pieces that just
17 seamlessly fit together. So we have to come up with
18 this connective tissue and that's what you're really
19 talking about. So it would be nice as context if each
20 presenter on staff, and certainly any of the experts in
21 the room, could help us all understand how one
22 particular model fits with the others, or doesn't, so we
23 can flesh out this scenario-based modeling exercise and
24 ask, you know, better questions along the way. So
25 thanks.

1 MR. RHYNE: And we'd be happy to do that. Thank
2 you.

3 MR. BRATHWAITE: Good morning, Commissioners,
4 members of the audience. I am Leon Brathwaite. I work
5 here in the Natural Gas Unit here at the Commission.

6 I will be presenting two things today. First, I
7 will be looking a little bit at a brief background into
8 our natural gas model; and secondly, we will also be
9 looking at some preliminary results from the three cases
10 that we have developed to date.

11 Now, I want to say that these cases are
12 preliminary, and I mean that in every sense of the word,
13 it is preliminary. We are seeking input both from the
14 dais and from our stakeholders along the way.

15 Also in my presentation, we will look a little
16 bit about the methodology of our natural gas model.

17 In previous IEPRs prior to this one, we used to
18 run the World Gas Trade Model. That model is
19 constructed in the Market Builder Platform that is
20 presently owned by Deloitte Marketpoint. And
21 Commissioner McAllister, you asked a little bit about a
22 history of this model. We have been using the Market
23 Building Platform for the last 10 years. In 2007, I
24 believe, in the 2007 cycle, the Commission requested
25 that we take a serious look at our modeling tools, in

1 particular the natural gas tool that we were using, the
2 Market Building Platform at that time, and we spent some
3 very serious time looking at that, looking at other
4 models, GCPM and another model whose name I can't
5 remember at this point in time, and compared them to the
6 performance of this platform that we've been using. And
7 after deep consideration, we decided that we would stick
8 with the Market Builder Platform. And so far we believe
9 it works reasonably well. However, Commissioner, at a
10 future date off line if you wish, I can certainly give
11 you a little more background and history about that
12 particular model if you so request.

13 So anyway, in the previous cycles, we were
14 running the World Gas Trade Model, and the model is
15 constructed in the Market Builder Platform. But we
16 decided that we would start to focus only upon North
17 America. The World Gas Trade Model is very cumbersome
18 in the sense that both data and the associated structure
19 is quite a task to manage. So we decided to focus on
20 North America, this is U.S., Canada, and Mexico. And we
21 constructed what we are now going to call the NAMGas
22 Model and, of course, NAMGas is also built in Market
23 Builder.

24 So what did we do to get to NAMGas? We started
25 with the World Gas Trade Model as we have in previous

1 times, and we reconfigured the California portion of the
2 model to see what the Energy Commission needs. We added
3 functional nodes to account for liquid natural gas,
4 imports and exports, removed all non-North American
5 structure, and then we added nodes to deal with the
6 transportation sector, the natural gas demand for
7 transportation. Those nodes, demand for transportation,
8 is small but certainly a growing and important sector in
9 our economy. And as a result of those changes, we
10 brought about what we are now calling NAMGas.

11 So if you're going to look inside -- let's talk
12 about what's going on inside of the model. The very
13 first thing that we have to do on the supply side of the
14 model is that we have to estimate recoverable reserves
15 and those are technically recoverable and economically
16 recoverable reserves. Now, the economically recoverable
17 reserves are really a subset of the technically
18 recoverable, and what economically recoverable reserves
19 tell us is at what cost are we going to be able to
20 recover these things.

21 Now, the prices -- these reserve estimates
22 change with technology and changes of price, and they
23 are one of the very most important input parameters into
24 the model. We will develop as a result of this
25 exercise, develop what we call Supply Cost Curves, and

1 I'll be showing that here in a little while.

2 So here we have a demonstration, a schematic
3 that shows one of our supply regions, and we have two
4 sets of nodes on the supply side that are of great
5 importance in the model. We have the green nodes which
6 we call depletable resources; that is, these depletable
7 resources require -- there is a very active investment
8 logic on these nodes, and this is the process of
9 drilling and production that is ongoing, that is
10 represented here in our model. So in order to produce
11 resources, or to produce any sort of supply from the
12 green nodes in the model, we must have capital
13 expenditure and we must have operation and maintenance
14 costs.

15 We also have the brown nodes. The brown nodes
16 we call simple supply, and we put all of our proved
17 reserves, the reserves that we have some fair, high
18 confidence in, we put those on the brown nodes and they
19 only require operation and maintenance costs for
20 production purposes. There are some other nodes in here
21 and I will be talking about them as I go through this
22 presentation.

23 Here we have a demonstration, an example of the
24 supply cost curves within the model. Now, in 2007, this
25 was our supply cost curve. In 2011, this is what it

1 looks like, the red line. In 2013, here we have a
2 supply cost curve out here. So what we are seeing here
3 is that technology is shifting the marginal cost curve,
4 the marginal cost profile. So overall, what is
5 happening is we are having more resources available at
6 lower costs. What we are seeing really and truly is the
7 effects of technology. Technology is shifting the curve
8 and shifting it to the right. And I guess we know the
9 story about the development of shales, and this here is
10 representing that movement to the right with the
11 development of the shales.

12 On the demand side, let's talk about that for
13 just a second. Now, the model requires some start in
14 values, and I say start in values because we are just
15 starting with them, and as the model goes through its
16 iterations, the starting demands will change as a result
17 of the price changes, as a result of the elasticity
18 estimates that we do input into the model.

19 So the first thing that happens, though, is that
20 we must estimate these starting reference quantities and
21 start in reference prices. We do have an Excel-based
22 econometric tool; we sometimes refer to that as a small
23 "m" model. We use historical data to calculate in the
24 shale prices and quantities. These things are then
25 loaded into the NAMGas Model, and then the model can run

1 and does all its iterations, and then we'll get some
2 results out and we'll look at it and decide if we'll
3 accept it, or not. But the process requires us to do an
4 regression analysis to estimate both the quantities and
5 the elasticities. And each one of these regression
6 analyses has a bunch of independent variables for the
7 five disaggregated sectors that we have on the demand
8 side. Our five disaggregated sectors are residential,
9 commercial, industrial, oil generation, and we just
10 added transportation in this cycle, we didn't have
11 transportation broken out previously, but we do now.

12 So what are the independent variables in each of
13 these sectors? On the residential side, we have recent
14 historic demand for natural gas, population, natural gas
15 prices, income, heat and oil, and cold weather. For
16 commercial, we have recent historic demand for natural
17 gas income, natural gas prices, population, heating oil
18 and cold weather. For industrial, the independent
19 variables are recent history, recent historical demand
20 for natural gas, natural gas prices, coal prices,
21 industrial production, which is a very very important
22 variable here, and cold weather. On the power
23 generation side, we have total electric generation,
24 weather, natural gas prices, fuel oil, renewable
25 electric generation, and coal prices.

1 In transportation, on the transportation side,
2 again, recent historical demand for natural gas income,
3 natural gas prices, population, heating oil, and cold
4 weather.

5 We put all of these things together in our
6 regression analysis. And using that regression
7 analysis, the output of that, two things, the elasticity
8 estimates for each of the sectors, and an array of
9 starting -- and I want to underline the word "starting"
10 -- an array of starting demand quantities that we will
11 end up putting into the NAMGas Model. But in general,
12 high rates of demand growth influences the flows and
13 prices within the NAMGas.

14 So here we have the schematic that I showed you
15 previously. These here are tombstones; this is where
16 all our demand is located in the model. All the
17 reference quantities and prices start there on these
18 nodes. The tombstones are price responsive, they are
19 elastic demand nodes; that is, as prices change
20 endogenously, the demand will also change. And this is
21 one of the great things about this model, that it
22 responds to price changes as we do in the real world, we
23 are trying to replicate that here. And if ever you want
24 to think about the tombstones here, think about it as
25 the place where natural gas goes to die -- that was a

1 joke.

2 There are some other parameters that are
3 important such as what we call gas substitutes or really
4 a backstop price, or a backstop resource. But what is a
5 backstop resource? Let me explain that a little bit.
6 As prices rise in the real world and in the model, new
7 resources are coming into play. Now, if the prices rise
8 high enough, new technologies will come into play. So
9 we have assumed in the model, we do not have a specified
10 technology that will come into play if prices rise high
11 enough, but what we do have is an unspecified
12 technology, but it is priced at \$9.00 per McF, that if
13 prices were to be sustained at that level, then we would
14 have this new technology coming into play within the
15 model.

16 There are also policy parameters. And policy
17 parameters are very very important. One good example
18 may be, for instance, there are some natural gas
19 resources that are in environmentally sensitive areas,
20 and as a result its development has been restricted, and
21 we can reflect that in the model. So if, for instance,
22 right now in the state of New York, the Marcellus shale
23 is not being developed because of some of the issues
24 involved in the watersheds, and the development has been
25 restricted and, in some cases, is probably going to be

1 banned forever -- we don't know that yet, but it may be
2 the case. We can reflect that in the model by turning
3 off that resource; it will be physically in the model,
4 but it will not be allowed to flow even if it is
5 economical to do so, the policy restrictions may cause
6 it not to, and we can reflect that in the model.

7 Some of the other things that are in the model,
8 key variables, investment parameters we have in there
9 such as rates of return, royalty rates and taxes are
10 also present in the model. We also have to deal with
11 the assumptions regarding the timing and availability of
12 certain resources and infrastructure. And this goes
13 back to the policy issues to some extent, but not quite,
14 this is a slightly different issue.

15 In 2007, say for instance when we were doing our
16 own analysis, we physically had within the model the
17 Ruby Pipeline; however, Ruby did not start flowing until
18 I think around 2011, so when we were doing this analysis
19 in 2007, we could turn off, at least delay, any flows
20 along Ruby until we think it was going to actually do
21 so. Well, it turned out that it didn't start flowing
22 until 2011. But when we are doing this analysis in
23 2007, we might have turned it off until 2010 or
24 something like that. But the point is, though, we have
25 the ability to either ban within the model a flow from

1 occurring, or prohibit it completely, or delay it,
2 postpone it for a certain length of time. And this is
3 where we get to this assumption regarding the
4 availability of resources.

5 One other thing that we must do is put the
6 model, the world of the model, in a particular cost
7 environment. Now, one of the things that we don't want
8 to do is to put the world of the model in a high cost
9 environment as we saw here in 1979 through 1984, nor do
10 we want to put it in a low cost environment as we see
11 here in 1992 all the way to 2000. What we are looking
12 at here is a year-to-year relationship of real cost
13 through time. We are attempting, since we are in a
14 long-term model, we are attempting to come up with a
15 typical cost year -- real cost year -- and those years
16 will get from a P50 line, which is right here, and those
17 years that we have selected is 1975, 1986, and 2003, we
18 are looking for a typical cost year, we don't want a
19 high one, we don't want a low one, okay? We'll talk
20 about this graph a little bit later on to show how we
21 can develop scenarios using some of the parameters in
22 this graph. But in terms of the reference case, we are
23 trying to get a typical cost year that we can use, that
24 we can use real costs, and use that in our model so that
25 we do not bias the results in one direction or another.

1 So now I would like to get into the results of
2 some of the cases that we have developed to date and I
3 must emphasize this: these are preliminary cases. We
4 are looking for input from all stakeholders involved in
5 this process, we are looking for input from all
6 Commissioners, from any member of the audience, if there
7 is anything that you see that looks, you know,
8 unpalatable, shall we say, please, we really want to
9 hear about it.

10 So what we'll be doing over the next few slides,
11 1) we'll talk about the purpose of the preliminary
12 scenarios, and we are calling them "scenarios" or
13 "cases"; we'll talk about -- we will name those
14 preliminary scenarios -- we will describe them, tell you
15 what was changed, what did we do. We will look at the
16 general impact of price changes, we'll briefly talk
17 about the price performance of some of these cases,
18 these scenarios, and then we'll talk about a
19 reconfiguration of the supply portfolio as price changes
20 because that is a very very big deal, and we'll talk
21 about that here shortly.

22 So what is the purpose of doing these scenarios?
23 Well, we have several purposes, 1) we are trying to
24 examine price and supply in the national natural gas
25 market, in the national natural gas market. But within

1 that, within that, we are looking at potential
2 vulnerabilities to California and we are looking at
3 potential opportunities for California.

4 We also want to investigate natural gas price
5 and supply uncertainty, and this is a very very big
6 deal. Gas prices have been coming down significantly
7 over the last two or three years without a doubt, but we
8 have also experienced at sometimes some very high gas
9 prices. I think in 2008, we had gotten up to somewhere
10 in the \$12.00 or \$13.00 per McF. So what we are trying
11 to do here is to try to capture that range of
12 uncertainty and volatility that we have seen out there.
13 We also want to develop plausible outlooks of price and
14 supply.

15 But the question that we are really and truly
16 trying to answer when we look at some of these scenarios
17 is what happens if we have the "Perfect Storm." And
18 when I use that word "Perfect Storm," we are asking the
19 question, what happens if all of the outputs, all of the
20 events associated with high prices, what happen if they
21 were to occur simultaneously? And this is what I'm
22 calling the "Perfect Storm." Or what if all events
23 associated with low prices were to occur simultaneously?
24 What happens then? We are trying to investigate this.

25 Further, we are trying to investigate the impact

1 of relevant policy, and there are some big ones that are
2 ongoing, 1) the implementation of the Renewable
3 Portfolio Standard, 2) conversion of coal-fired
4 generation, 3) any environmental mitigation as a result
5 of shale development, in particular the use of water in
6 hydraulic fracturing and the disposal of that water.
7 Also, the licensing of LNG export capability, we
8 certainly want to be able to say something about those
9 matters.

10 But I want to be clear about something. We are
11 not trying to predict anything here, we are not. What
12 we are trying to do, however, is to provide insight to
13 policy makers about the role of natural gas and its
14 future in the supply portfolio. Are we yet ready to
15 provide such insight? No, we are not. That's why we
16 are here. We are seeking input. We are seeking any
17 sort of input that will allow us to better able answer
18 many of those questions that have been posed as we move
19 away from natural gas into using more of our renewables
20 for generation purposes.

21 So what were the cases that we constructed? We
22 constructed our reference case, we constructed a high
23 price/low consumption case, and we constructed a low
24 price/high consumption case. Now, these three cases are
25 the common cases which Ivin spoke about a little while

1 ago. And I want to say that a reference case as it is
2 right now is not a most expected outcome, it is, shall
3 we say, maybe business-as-usual. But we will be working
4 with that case some more and we have many refinements
5 that still must be done.

6 So let's talk a little bit about what we have in
7 the reference case. In the reference case, we started
8 our starting demand quantities -- in the reference case
9 our starting demand quantities, and this is from all
10 regions, all sectors, we have about 90 regions in the
11 model in North America, and we have five sectors that I
12 outlined a little while ago. So our initial starting
13 demand quantities in 2011 were 22.1 TcF; for power
14 generation it was 7.5. In 2020, we have a total of 26.9
15 TcF, power generation was .9 TcF. In 2030, the total is
16 26.2 TcF, and power generation was 10.6 TcF. Now, these
17 are the starting values. Once the model goes through
18 its iterations, as prices change, as it takes into
19 account the effects of its elasticities, these will not
20 be the values that come out of the model, and they will
21 differ, and sometimes differ significantly from their
22 starting inputs.

23 So we did estimate the elasticities with the
24 help of Dr. Ken Medlock of Rice University, we did
25 estimate these elasticities in all five sectors,

1 residential, commercial, industrial, power generation,
2 and transportation. And a range of elasticities are
3 0.0007 all the way to 0.0653. So that is in our
4 reference case. Also in our reference case, we assume
5 that 30 GW of coal will be converted starting in 2014 --
6 not all of it will be done in 2014, but the process will
7 begin in 2014.

8 The Renewable Portfolio Standard, we assume that
9 California will meet its standard on time, and we assume
10 that in all of the cases that California will meet its
11 Portfolio Standards on time; however, we have delayed
12 implementation of the standard in all the other states,
13 we delayed it by five years. Now, there are some people
14 who question that assumption, and we understand that,
15 but we will be looking at this as we go through this
16 process.

17 Now that was demand side. Let's talk a little
18 bit about the supply side. Proved reserves are about
19 325 TcF. The potential reserves, 1,462 TcF at about
20 \$10.00 per McF, 1,280 at \$5.00 per McF.

21 We also have some parameters such as investment
22 parameters for resources. We expect a return of 12.2
23 percent real for pipeline; it's about 8.4 percent real.
24 Income tax rate, 35 percent return on royalty -- on
25 equity, my apologies -- is 8 percent. Backstop

1 technology, I spoke about that a little while ago, it's
2 an unspecified technology at \$9.00 per McF.

3 And the technology factor, we assume that
4 technology is growing at 1 percent per year. Some
5 people believe that that is low. We really would like
6 to get some input on that value in the reference case.

7 We also constructed a high price case, or low
8 consumption case. In this case, we converted 80
9 gigawatts of coal-fired generation. We assume that
10 economic activity, the economy, will grow sustained at
11 3.5 percent. We delayed implementation of the RPS in
12 all states other than California by 10 years. In
13 California, we assumed that it will be met on time.
14 Starting in 2016, we assumed that we will have robust
15 export of LNG from the lower 48.

16 Also in this case, we did assume some
17 environmental mitigation for the development of some of
18 the resources, so we added a cost of \$.40 in the
19 development of shales; this is \$.40 on the operation and
20 maintenance costs, \$.20 to conventional resources per
21 McF in their development. We also shrunk the resource
22 base by turning off some resources in New York and the
23 Rocky Mountains, Colorado and Wyoming. Some of these
24 resources, well, all of the resources that were turned
25 off are in environmentally sensitive areas and we wanted

1 to see what would happen if these resources never come
2 into play in the supply portfolio.

3 So at the end of the day, we end up with a
4 supply cost curve that looks something like that. Now,
5 I just want to be clear about this. This curve that
6 you're seeing here, like all the curves I've shown to
7 date, they do not appear anywhere in the model; what
8 does appear in the model is about 200 curves in each one
9 of the producing basins that are represented in the
10 model. Even some of the basins we may have multiple
11 curves for different zones within the basin. What you
12 are seeing here is really and truly an aggregation of
13 those 200 curves, and that is what you are looking at
14 here. I didn't want to bore you by showing you 200
15 curves this morning, you probably would have fell asleep
16 anyway, but anyway, that was a joke. So this is an
17 aggregation.

18 Now, in our low price case, our low price case
19 on the other hand, we converted one Gw of coal fire
20 generation, we assume that all states -- California and
21 all of the other states -- they meet their RPS targets
22 on time. Economic recovery, economic growth is weak in
23 this case, it's 2.1 percent. We do not allow any LNG to
24 flow, exports to flow. We assume technology will
25 develop at a rate of 2.5 percent. And here, we expanded

1 the resource base by 5.3 percent. We did that by
2 finding credible sources of estimates of the various
3 recoverable reserves in the various basins, and we used
4 the upper values, or the upper ranges of this data to
5 come up with this 5.3 percent expansion of the resource
6 base. After we had done all of that, we end up with the
7 supply cost curve that looks something like that.

8 This schematic combines the three curves that
9 I've been showing previously in the previous slides. So
10 the red here is the high price case, the high price/low
11 consumption case; the blue, that is our reference case;
12 and the green that is our low price case. So what we
13 have done is that we have turned off some resources, we
14 have turned on others, we have used certain different
15 values to estimate the recoverable reserves, and we end
16 up with a series of curves that look like that for the
17 individual cases that we have done to date.

18 One thing that I would like you to focus on is
19 this lower portion here of the curve. This raises an
20 issue that I will explore a little bit later on in my
21 presentation, and it's a very very important issue, but
22 we'll talk about that as we go along.

23 So let us talk about the general impact of price
24 changes. Generally, when prices rise, higher prices, it
25 depends to depress demand, but it stimulates its supply.

1 On the other side of the coin, when prices fall, it
2 tends to stimulate demand, but suppress the supply.
3 Usually, though, when prices change we have some
4 combination of this impact occurring, so there's usually
5 some sort of dual impact which is very difficult to
6 discern, which is, what is going on? And what is the
7 dominant effect?

8 But what we know does happen, and we know this
9 for sure, is that it does reorder -- it does reorder the
10 supply portfolio because some resources become
11 attractive, more attractive, and others become less
12 attractive, and producers and demanders of these
13 resources will take their resources from different
14 places, depending on the price incentive. So the
15 question that we are trying to answer when we look at
16 the performance of these cases is, what is the dominant
17 effect? Sometimes it is very difficult to discern
18 that, but we're going to try to do this.

19 So, let's talk about the performance of the
20 cases. And again, these are preliminary cases, okay?
21 We are seeking input. I don't know if I can say that
22 enough.

23 So this here, this schematic shows us the prices
24 at Henry Hub for three cases, and we can see all three
25 lines running in parallel, more or less, the high is

1 behaving as expected, it's higher than in most places,
2 than the other cases, the lower is lower in nearly all
3 places; and the reference case runs in the middle. But
4 there are two things that are evident from this
5 schematic, 1) the zone of uncertainty, which is the
6 difference between the high and the low, is very narrow.
7 And this is something that we will be working on. But
8 if you do recall, a little while ago I showed you the
9 three supply cost curves that we developed for the cases
10 and, at the lower portion of that curve, there is hardly
11 any difference between the three. This is being
12 reflected in the narrowness of that zone of uncertainty.
13 This is something that we'll be working on as we go
14 through this process.

15 The second thing that is evident here is this
16 seesaw effect that we are seeing only in the high case.
17 Now, I should say it's the most evident in the high case
18 because, when you really look at all the other cases,
19 the prices do jump around a little bit, but it's most
20 evident in the high case. If you remember, one of the
21 inputs of this, one of the inputs in this case, was that
22 we allow LNG exports, at least we forced LNG exports.

23 So two things are occurring there, 1) we are
24 having significant development of shale, and that tends
25 to depress prices a little bit there as we saw

1 initially. But further, as demanders of export LNG, as
2 they demand more and more of exports, more LNG to be
3 taken out of the domestic supply, it tends to push
4 prices up, and this is exactly what we are seeing here,
5 that prices are being pushed up because more and more
6 people are demanding LNG for export. And then, when
7 prices rise, the cycle starts all over again -- more
8 shale resources come into play, and then prices fall,
9 and then the process begins before we see some sort of
10 leveling out of the high price case.

11 So we do have a zone of uncertainty, there is no
12 doubt about that, but it is very narrow. The question
13 that we have is, is it reasonable? Our feeling at this
14 point in time is it is not and we should take some steps
15 to try to fix that. Well, I don't know if that's the
16 correct word, to "fix," but we'll take some steps to
17 change it, shall we say?

18 The next thing we should look at is the price
19 differentials that we are seeing. Early in the forecast
20 horizon, we saw a differential, and this is Topock minus
21 Henry Hub, we saw a differential that was negative; that
22 means the California border prices were lower than that
23 of Henry Hub. But as we go through the forecast
24 horizon, we notice that there is a decided change to
25 where the differentials are now virtually all positive.

1 And you may ask why, why is this occurring? Well, the
2 reason is the following: if you were to take a map of
3 the lower 48 and you were to look at where development
4 of shale is presently ongoing, look at a Marcellus, look
5 at the Eagle Ford, look at the Haynesville, look at the
6 Woodford, all of the -- the Barnett shale -- all of the
7 major shale development is occurring in the eastern part
8 of the United States, not exclusively, but the vast
9 majority of it is. So what is happening is the
10 development of shale in the east is suppressing prices
11 more than it is suppressing prices in the west. And as
12 a result, we are having this flip of the differentials.

13 So let us talk a little bit about the supply
14 portfolio. So we have two main demands in the lower 48,
15 two, the end use demand on exports, and that has been
16 satisfied by Canadian imports, lower 48 production, and
17 a little bit of LNG imports. So the demand in the Lower
18 48 is about 73.6 BcF a day, and the exports, which is
19 also a demand, a lower 48 demand of natural gas, is
20 running about 8.4 BcF a day. How is that being
21 satisfied? 1) Canadian imports, about 13 BcF a day, 2)
22 lower 48 production, 72 BcF a day, and 3) we have a
23 little bit of LNG coming in here, about .25 BcF a day.

24 Now, the question then becomes what happens to
25 the portfolio when prices change? Now, this is for

1 2025, I could have chosen another year, I just happened
2 to choose 2025. When prices rise, in 2025 in the high
3 price case, prices rise about 12.3 percent. Now, end
4 use demand drops off about 5.5 percent, but notice
5 exports increase significantly. Export is a demand, it
6 increases significantly, almost a third. But this was a
7 case where we forced exports to occur -- LNG exports to
8 occur. So what is happening? Canadian imports drop off
9 about 8.5 percent; lower 48 production drops off about 1
10 percent; LNG imports not very large, not a whole lot of
11 gas we are talking about here, but it rises about 156
12 percent. That is because the higher prices in the lower
13 48 are attracting a little bit more LNG. So Canadian
14 imports come in now at 11.9; production, lower 48
15 production, comes in at about 71.3; LNG imports about
16 6.4 BcF, and that is serving the oil demand of about 70
17 BcF in the lower 48, and serving the export market about
18 11.1 BcF per day.

19 On the low price case, prices fall by about 7
20 percent; end use demand increases about 1.5 percent;
21 export drops off about 22.6 percent, almost 23 percent.
22 What that means is that a lot more gas is remaining at
23 home because of the drop off in exports.

24 So Canadian exports drop off by about 2.3
25 percent, lower 48 production relatively unchanged, but

1 it drops off by 1 percent, and LNG imports drop off by
2 about 60 percent. Now, as you would expect, of course,
3 the lower prices is giving a disincentive for LNG to
4 come into the lower 48.

5 So Canadian imports are coming at about 12.7;
6 production is about 71.3; LNG imports is down to .1, and
7 that is feeding oil demand of 74.1 of lower 48 end use
8 demand, and feeding the export market about 6.5 BcF per
9 day.

10 But the main point, the main point out of all of
11 this that we are seeing is that when prices change,
12 whether they go higher or they go lower, when prices
13 change we are seeing the reconfiguration of the supply
14 portfolio. This is what we are seeing here as prices
15 change.

16 Let us look a little bit about California; the
17 changes are not so very much evident in California
18 because California is just a subset of the North
19 American market. But I will try to -- let's give a
20 little bit of background here on California itself.

21 Here we go. As you can see, again, we have that
22 very narrow -- this is Topock prices -- we have that
23 very narrow, very very narrow zone of uncertainty.
24 Again, we see that seesawing effect that we saw
25 previously and it is evident here in California. But,

1 again, the narrowness of this zone of uncertainty is a
2 direct result -- is a direct result of the supply cost
3 curves that I showed you a little while ago, where we
4 are not seeing very much difference in the lower portion
5 of the aggregated curves.

6 So what is happening here now? Here as a
7 reference case we have end use demand and that end use
8 demand is being satisfied by Canadian imports, Rocky
9 Mountain supply, Southwest supply, and local production,
10 that is, production within California. We have imports
11 coming in from the north, 2.6, 2.7; Rocky Mountain is
12 about 1.3; Southwest about 2.3, 2.4; lower production is
13 about 2.1, satisfying a demand of about 6.4 BcF a day.
14 One of the things that we should mention here, we did
15 not -- well, as you know, California production and
16 state production is dropping off and it's dropping off
17 significantly. We did not assume anything about the
18 development of the Monterey/Santos shale; we did not
19 assume that in this analysis, in none of the cases.
20 Now, the production trajectory of California production
21 may change if that shale is ever developed. We did not
22 assume that in any of these analyses.

23 Okay, in the high price case, prices rise about
24 9.9 percent; end use, a drop of about 3.4 percent;
25 Canadian imports come in at about 2.5; Rocky Mountain is

1 about 1.6; Southwest about 2.4; in-state production
2 about .25; and demand that is being satisfied is about
3 6.2 BcF a day.

4 On the low price case, prices fall about 4.3
5 percent, end use demand is relatively unchanged, and if
6 you look at the price differential, there wasn't very
7 much in between the reference case and the low price
8 case.

9 We will be posting a corrected slide. These
10 numbers need to be refined and probably corrected. But
11 in the low price case, Canadian imports are about 2.6;
12 Rocky Mountain is about 1.3; Southwest is running about
13 2.2; production in-state is about .36; and demand that
14 is being satisfied is about 6.3 BcF a day.

15 Again, what we are seeing as I have said before
16 is that, as prices change, we are seeing a
17 reconfiguration of the supply portfolio. But one of the
18 issues that have come up again and again, and this came
19 up last time also when we had our 2011 IEPR cycle, was
20 this issue about a narrowness of our zone of
21 uncertainty. And certainly it is narrow, and certainly
22 it doesn't truly capture the true volatility in prices
23 that we are seeing in the marketplace.

24 So the question then becomes is there something
25 that we can do to try to change that? Now, we do not

1 want the zone of uncertainty to be so wide that it is
2 meaningless, that we could discern no information from
3 it, it will be useless. But we want something that is
4 reasonable, something that we can use to make decisions
5 about any sort of policies that we may wish to institute
6 in the State of California or nationwide if that is the
7 case.

8 So what we have here, what we can do is we can
9 combine two parameters, the reserve estimates and the
10 cost environment, to try to see if we can push the
11 limits of the extreme. We may not go to the extremes.
12 The extremes may be implausible. But we can certainly
13 head in that direction.

14 So the reference case that we have at this point
15 in time is right here, that little gray area here --
16 right there. If we want to push a high extreme say, for
17 instance, we can head in the direction of that box in
18 the upper right-hand corner where proved reserves will
19 be 325 and nothing else, and we will have a cost
20 environment that is a high cost environment, okay?
21 Maybe 1984 prices, 2008 prices, that kind of stuff. So
22 we can go up into the right-hand corner -- that will be
23 low estimates of reserves, but in a high cost
24 environment.

25 On the other side of the coin, if we want to go

1 to the other extreme, we can go into a low cost
2 environment with an extreme amount of reserves, and that
3 will take us into the lower left-hand corner. Now, as I
4 said, going into those extremes may be implausible, but
5 in terms of opening up or widening the zone of
6 uncertainty, we can certainly head in those directions
7 to get a more reasonable range for our price outcomes.

8 So this is what we will be looking at, and this
9 is what we are seeking some input on. Now, there are
10 also other cell blocks in here where we can do different
11 combinations and come up with different price outputs,
12 and we can all look at those things and examine those
13 things as the stakeholders and our Commissioners give us
14 input, they can give us some idea of some other cases
15 that they may wish us to run.

16 In conclusion, plausible national scenarios
17 produce a wide range of price and supply outcomes.
18 Price changes can and do reconfigure the supply
19 portfolio. To integrate renewables into the generation
20 supply portfolio, California needs a robust natural gas
21 supply base. The switch from coal-fired generation may
22 lead to higher natural gas demand.

23 Plausible scenarios can produce a zone of
24 uncertainty; however, the abundance of shale resources
25 keeps that zone of uncertainty relatively narrow, as

1 I've shown in some of the schematics here.

2 That brings me to the end of my presentation.

3 But before I turn it back to the dais, Commissioners, I
4 wish to acknowledge the work of some of the people who
5 were instrumental in putting this analysis together.
6 First and foremost, Dr. Ken Medlock of the Baker
7 Institute in Houston, Texas. I would also like to
8 acknowledge some of my colleagues in the Natural Gas
9 Unit, Peter Puglia, who is in the audience, Robert
10 Kennedy who is also in the audience, Paul Deaver is no
11 longer in our unit, but I would also like to acknowledge
12 his efforts, and last but not least, I would also like
13 to acknowledge the efforts of Angela Tanghetti, who did
14 help us in linking up natural gas and electricity. With
15 that, I am done and I will now turn it over to you and
16 the audience for any questions that you may have.
17 Please don't make them too difficult. No, that's a
18 joke. But, yes, I'll now take any questions or any
19 comments that you may have. Thank you very much.

20 COMMISSIONER FLORIO: I don't think you're using
21 -- you're not looking at any external shocks to the
22 system like hurricanes, well freeze-ups, exceptionally
23 cold weather, things like that that might cause short-
24 term spikes in the price. Is that correct?

25 MR. BRATHWAITE: Commissioner, that is

1 absolutely correct. Now, this model is a long-term
2 annual model, so you are right, we are not looking at
3 shocks to the system. Now, we are in the process, and I
4 do not believe it will be available for this IEPR cycle,
5 but we are in the process of developing a short-term
6 model where we will be looking, I think, on a monthly
7 basis and we will be able to more address that issue
8 when we do have that model up and running. But we hope
9 to have that up and running before the end of the year,
10 but we will not have it available for this IEPR cycle,
11 but you are absolutely correct about that, sir.

12 COMMISSIONER WEISENMILLER: Hi. A couple of
13 other questions. On page 17, you give a range of
14 elasticities. I'm assuming those are associated with
15 various sectors?

16 MR. BRATHWAITE: Yes, sir.

17 COMMISSIONER WEISENMILLER: Could you describe
18 which sector the low and high elasticities are
19 associated with?

20 MR. BRATHWAITE: The low, I believe, is
21 associated with the residential sector because, you
22 know, demand doesn't change very much there. And the
23 high, I believe, is the industrial sector, Peter? Could
24 you remember? Commissioner, at this point in time, I am
25 not really certain as to where -- I'm certain about the

1 residential sector in terms of on the low, the high I am
2 not sure about, but I'll be happy to provide that
3 information for you at some point in time?

4 CHAIRMAN WEISENMILLER: That would be good. If
5 you could just put in the record the elasticity for each
6 sector, that would be sufficient in supplement.

7 MR. BRATHWAITE: Okay --

8 CHAIRMAN WEISENMILLER: My other question was my
9 recollection was that PG&E uses the same model?

10 MR. BRATHWAITE: Yes, sir. That is correct,
11 yes.

12 CHAIRMAN WEISENMILLER: And last time I thought
13 there were a lot of questions that came up near the end
14 in terms of differences in the assumptions, so I guess I
15 was going to encourage more of a dialogue with PG&E
16 earlier on what the differences were. Obviously, it's a
17 complicated model that I guess has thousands of
18 assumptions --

19 MR. BRATHWAITE: Yes.

20 CHAIRMAN WEISENMILLER: -- seem to be -- at that
21 point everyone threw of up their hand trying to line
22 things up better. But I don't know if PG&E has any
23 sense of what the major differences are on, again, how
24 we can try to make some progress on --

25 MR. BRATHWAITE: You, well, you know,

1 Commissioner, to be honest, usually the differences has
2 to do with the data that we put into the models because,
3 structurally, between us and PG&E -- and we have worked
4 with PG&E in the past -- structurally between us and
5 PG&E, there's usually not much difference between the
6 two models. But usually it's something -- the
7 differences can be about of what we assume, sometimes we
8 have had differences on the elasticities assumptions, we
9 have had differences there. We have also had some
10 differences in terms of what we assume in terms of rates
11 of return in some of the pipeline capacity additions.
12 So usually it's a data issue that, of course, the
13 differences between us and some of the other people, we
14 use the same model. But, yes, you are absolutely right,
15 sir, we will be working with as many people as possible
16 and try to understand those differences. If they can be
17 reconciled, we will reconcile them; if not, at least we
18 are aware that they do exist.

19 CHAIRMAN WEISENMILLER: It seems like the
20 dominant variable is the resource shapes or curves there
21 and particularly the shale. And to the extent you have
22 a relatively flat and a relatively, you know, that that
23 seems to be what drives a lot of the narrowness. And so
24 part of this is just trying to understand if, again,
25 between we and PG&E, if those are the drivers, or indeed

1 it's more of some of the elasticities, or some --
2 obviously you can have much different linkages in the
3 pipeline system being emphasized or deemphasized. So,
4 again, just trying to -- but I assume the major thing to
5 understand is, if the resource shapes are similar, then
6 again that would give us more confidence in the sort of
7 underlying results we're getting.

8 MR. BRATHWAITE: Absolutely, sir. And you are
9 absolutely right, the supply cost curves, the resource
10 curves are one of the most important, if not the most
11 important, input into the model. And certainly it is
12 something that we should focus on and make sure we have
13 a full understanding about what we are using in-house
14 and what other people are using in their analysis. So
15 we will certainly try as much as possible to reach out
16 to other users of this model, PG&E and others, to try
17 and have some understanding of that. And we will
18 certainly update you, you and Commissioner McAllister,
19 as we go forward in this process.

20 CHAIRMAN WEISENMILLER: Okay. And my
21 recollection is that Sempra doesn't use this model? I'm
22 trying to recall if they use a similar model or --

23 MR. BRATHWAITE: I'm sorry? Oh, they use --
24 Katie Elder just told me that Sempra is using GCPM, Gas
25 Competition Pricing Model, or something like that. So,

1 no, at one time many many moons ago, they used to, but I
2 guess they don't anymore.

3 CHAIRMAN WEISENMILLER: Okay.

4 COMMISSIONER MCALLISTER: Do you typically get
5 together with them, with other users of this model and
6 other models to sort of compare and contrast
7 assumptions, and look at, you know, do runs and sort of
8 see what they tell you about the world, about what your
9 model is telling you, sort of how your model represents
10 the world versus a different one, or another
11 configuration of the same one?

12 MR. BRATHWAITE: Well, yes. In previous cycles
13 we have done such a thing where we have -- well, we have
14 worked closely with PG&E in some of our previous cycles.
15 The last cycle, I do not believe -- I think we did have
16 a little bit of reach-out to Southern California Edison,
17 who uses this model also. But, yes, we have reached out
18 in the past and in this cycle we certainly would like to
19 be doing that again, and we'll certainly do so.

20 COMMISSIONER MCALLISTER: I would suggest that
21 just as a matter of course, really, so to inform their
22 comments and they can sort of, if anything, if any
23 differences emerge, it would be good to have those sort
24 of earlier, rather than later in the process.

25 MR. BRATHWAITE: Absolutely. Absolutely,

1 Commissioner.

2 COMMISSIONER MCALLISTER: I had a question --
3 did you have another?

4 CHAIRMAN WEISENMILLER: Oh, just a follow-up
5 just on your point for a second. I was going to
6 encourage Edison, PG&E, and Sempra to file comments on
7 this presentation and, again, in terms of areas where
8 they agree or disagree, or where we can strengthen it.
9 Certainly if anyone wants to speak now, that's fine, but
10 if -- I suspect people would prefer to have time to
11 think about these results and then give comments, but
12 that would be very helpful, I think, to get those in
13 writing for the record.

14 MR. BRATHWAITE: One caution I would just like
15 to put out there, Commissioner, I mean, any comment is
16 welcome, but these are our preliminary cases, okay,
17 that's the only question.

18 COMMISSIONER MCALLISTER: I can totally
19 appreciate that. So on slide 25, you explained this a
20 little bit, I just wanted to get a little bit better
21 understanding of why the high price case is jumping up
22 and down in the early years there. Is that sort of
23 accommodating structural changes? Or what's driving
24 that? Is it market? What is it?

25 MR. BRATHWAITE: Okay. Now, in the high price

1 case, it was the only case so far where we actually
2 forced LNG exports -- not imports -- exports I'm talking
3 about. We really pushed exports in the high price case.
4 So what is happening there is that shale, in
5 anticipation of these exports, I mean, in the world of
6 the model I'm speaking now, in anticipation of these
7 exports, we have a significant amount of shale
8 development ongoing. So initially you see this sort of
9 price depression occurring right in here because of all
10 that supply that is potentially available. But as the
11 exports actually begin to occur, and they do begin
12 around 2015 or so, then that is an added demand upon the
13 resources here in North America. So what happens, this
14 pushes the prices higher, and then the cycle starts over
15 -- higher prices, more shale comes on, it depresses the
16 price, and then the export is ongoing, it pushes the
17 prices back up as more and more is demanded for the
18 export market.

19 COMMISSIONER MCALLISTER: So is there -- so
20 basically is it a function of the model and the
21 periodicity of the models you're forced to sort of have
22 each iteration is producing sort of a different decision
23 set early on and at some point it evens out? I'm just a
24 little clear as to why it just stops at 2019 or --

25 MR. BRATHWAITE: Oh, why it stops. Yes. Well,

1 the model will iterate until, shall we say, the
2 differences between each iteration is minimal, shall we
3 say? There are parameters that we must set to do so.
4 So, yes, it will go through for each period, it looks at
5 what it must do in that period to try and satisfy the
6 demand. Now, all of these things must eventually all
7 come together simultaneously, but it does look short-
8 term at what will happen in the next period, in order
9 for it eventually to have an overall solution. So, yes,
10 there's a set of decisions that it must make that I
11 don't want to say is independent, it is not independent,
12 but it's all part of the entire decision set that the
13 model will make in terms of reaching an eventual
14 solution.

15 COMMISSIONER MCALLISTER: Okay, I don't want to
16 talk too much about the model because I really am
17 interested in the underlying reality here.

18 MR. BRATHWAITE: Okay. But did that answer
19 satisfy you, though?

20 COMMISSIONER MCALLISTER: Yeah, it did, it did.
21 It kind of tells me that you really need to use this
22 experience to make -- to evolve your scenarios such that
23 you get sort of something that might actually happen, I
24 mean, maybe something like that would happen in the real
25 world --

1 MR. BRATHWAITE: Yes, right.

2 COMMISSIONER MCALLISTER: -- but that you're
3 refining your forcing function for exports in this case,
4 for example, it seems like it could yield a better
5 outcome in the future here.

6 MR. BRATHWAITE: Well, I mean, this is one of
7 the problems; whenever we force, shall we say,
8 noneconomic things, like the LNG that we forced in that
9 example, it was not economic in the sense that it was
10 not occurring because it responded to prices. We were
11 actually forcing it to flow. So whenever you put
12 noneconomic things into the model, a noneconomic flow,
13 shall we say, into the model, it does produce some of
14 these seesaw effects that we are seeing here.

15 COMMISSIONER MCALLISTER: Okay, thanks.

16 MR. BRATHWAITE: Sure.

17 CHAIRMAN WEISENMILLER: While we have the price
18 thing up, do we have a sense of what the future strip
19 looks like? It obviously varies from day to day, but
20 how do these numbers compare to the current futures?

21 MR. BRATHWAITE: Well, we did do, shall we say a
22 back of the envelope comparison between the future
23 years. And if you look at the future strip, it falls
24 within our zone of uncertainty at this point in time,
25 but, you know, as we go forward that may change. But at

1 this point in time, it falls into the zone of
2 uncertainty. But, I mean, like I said, we will be
3 looking at these cases and refining them as best we can.

4 COMMISSIONER MCALLISTER: Okay, thank you.

5 MR. BRATHWAITE: Thank you very much. Anything
6 else?

7 MS. KOROSSEC: Let's open it up for any questions
8 from the audience in the room first.

9 MR. TUTT: Good morning. Tim Tutt from SMUD.
10 Leon, I was just curious about the rationale for
11 assuming that RPS mandates in other states would be
12 delayed in certain scenarios. Thank you.

13 MR. BRATHWAITE: This, Tim, is a bit of a
14 controversial issue within our office; however, we think
15 some of the budgetary issues that are ongoing in many of
16 the states may force the delay of the RPS Standards. So
17 we did make that assumption in some of the cases. But
18 as I said before, we did not assume that in California
19 in any way, shape or form.

20 MR. MANUEL: Leon Manuel of Southern California
21 Edison. I guess I just have a curiosity and I guess
22 it's something I can follow-up with you later. On the
23 reference case, you had your percentage of power
24 generation --

25 MR. BRATHWAITE: Yes.

1 MR. MANUEL: -- and as you ran through your high
2 case and low case, did you see much variance in the
3 amount of power generation from natural gas over time?

4 MR. BRATHWAITE: Oh, you mean in terms of the
5 output?

6 MR. MANUEL: From the output.

7 MR. BRATHWAITE: Yes, there is. There is some
8 variance, and we will be -- let me just say this -- we
9 will be posting a full suite of the results of these
10 cases and all future cases. Now, I don't know the exact
11 timing of when those things will be posted. Ivin, do
12 you have a good answer for that, when we will be able to
13 post? But we will be posting a full suite of results of
14 these cases, and you will be able to see the difference
15 between the cases on the power generation side, yes.

16 MR. MANUEL: Okay. And did that include just on
17 the national figures? Or did it also include the
18 California component?

19 MR. BRATHWAITE: Both.

20 MR. MANUEL: Both?

21 MR. BRATHWAITE: Yes.

22 MR. MANUEL: Thank you.

23 MS. KOROSSEC: Anything else in the room before
24 we open it up to our folks online? All right, we do
25 have one question from a caller. If you would go ahead

1 and open the lines, I'll let you know when the lines are
2 open. And the question is from Richard Stevie.

3 Richard, I believe your line is open.

4 MR. STEVIE: All right, thank you. Can you hear
5 me?

6 MS. KOROSSEC: Yes, we can. Go ahead.

7 MR. STEVIE: Okay, thanks. Actually, I had two
8 questions, one kind of a follow-up on the volatility in
9 the high price forecast. It's just the thing that
10 strikes me about this is you really are talking about
11 boom bust cycles in the prices, and even within the
12 reference case, I would think you would tend to see, as
13 well as in the low case, you would tend to see the boom
14 bust cycles having an effect on that price forecast
15 which could have a tendency to blow apart maybe a little
16 bit more the range of these forecasts. Have you thought
17 about applying that to the other scenarios?

18 MR. BRATHWAITE: Well, I think we are conflating
19 one or two things here, sir. What is causing that
20 seesaw, in effect, is that we have forced in the high
21 price case -- and this was the only case in which we did
22 this -- we forced LNG flows to be exported. Whenever in
23 a model, now maybe it may be an issue within the model
24 itself, but whenever we force non-economic flows, it
25 does produce this also seesaw, in effect. I don't think

1 it would open up the range of uncertainty if we did that
2 in the other cases. But what we are trying to do, we
3 were trying to capture a particular effect. In the high
4 price, we were trying to get high prices; in the lower
5 price, we were trying to get low prices. So we only
6 want to do things that are plausible in that regard, in
7 each of those individual cases. I hope I'm answering
8 your question.

9 MR. STEVIE: Well, you are, it's just that what
10 I've seen in terms of modeling gas price projections is
11 that, even in a reference case, that will generate both
12 high and low prices because of boom bust cycle of supply
13 relative to the prices. It's just, you know, if you
14 look at the history of natural gas prices, they're not a
15 smooth line --

16 MR. BRATHWAITE: True. That's true, yes.

17 MR. STEVIE: -- and a lot of that can be due
18 with the boom bust cycle that goes on. But I understand
19 that you're trying to do. Let me ask my other question,
20 is early on you were talking about -- I think you were
21 talking about nodal constraints on the availability of
22 resources.

23 MR. BRATHWAITE: Yes.

24 MR. STEVIE: Or prices at the nodes. Have you
25 thought about a need to have maybe smaller area

1 forecasts of gas demand, as well as other energy
2 consuming sectors as a way to improve the price
3 projections at the nodes?

4 MR. BRATHWAITE: Could you expand on what you
5 mean by smaller area? I'm not sure I understand exactly
6 what you mean by that, sir.

7 MR. STEVIE: Well, I'm assuming here that you're
8 looking at kind of a broad area, maybe even the whole
9 state, for the price of natural gas.

10 MR. BRATHWAITE: Yes.

11 MR. STEVIE: Okay. And maybe I misunderstood
12 what you were doing here, but it sounded like you were
13 talking about the different nodes, the prices could be
14 different?

15 MR. BRATHWAITE: Yes, they are different, yes.
16 They are different nodes. But let me -- could I explain
17 something?

18 MR. STEVIE: -- and that's what I was talking
19 about because it would be the demand in an area versus
20 the supply.

21 MR. BRATHWAITE: Oh, I see. Okay. Let me --
22 maybe if I back up a little bit and try to explain how
23 the model is structured, and maybe it will get to your
24 question. In the model, in North America we have
25 something like 90 regions. In California alone, I

1 believe we have five or six regions, I'm not sure of
2 that number, but it's somewhere around there. Each one
3 of those regions have five demand sectors that are
4 disaggregating within our model. We have residential,
5 commercial, power generation, industrial, and
6 transportation. So in terms of smaller area demand, I
7 think we are doing some of that, maybe not to the extent
8 that you indicated in your question, but certainly we
9 are at a level of disaggregation that try to capture as
10 small an area as possible within each of the regions.
11 And remember, California alone has about five or six
12 regions. Now, does that get to the heart of your
13 question? Or is it something else that you're asking
14 me?

15 MR. STEVIE: No, actually that helps. Thank
16 you.

17 MR. BRATHWAITE: Sure. You're welcome, sir.

18 MS. KOROSSEC: We have a couple more questions
19 that just popped up after that discussion. The first
20 one is Xiabo Wang from CAISO. We're opening your line
21 now in case you're talking and we're not responding to
22 you. Oh, I'm sorry, apparently that one is not on the
23 phone, they're just sending us a question. So we'll
24 pull that up in a moment.

25 MR. WANG: Hi.

1 MS. KOROSSEC: Okay, we can hear you now. Go
2 ahead.

3 MR. WANG: Hi, Leon. On this slide on page 25,
4 you're showing the projected Henry Hub price --

5 MR. BRATHWAITE: Yes.

6 MR. WANG: -- into the future. We are aware
7 that, at the Federal Government, at EIA, Annual Energy
8 Outlook, they also forecasted the future Henry Hub
9 prices. So how do we compare this Henry Hub price with
10 that Henry Hub price, in general? So is it kind of
11 similar? Or is it having different trends?

12 MR. BRATHWAITE: I would not say the trend is
13 different, I mean, it's as different in terms of its
14 magnitude, there's no doubt about that; but in terms of
15 the overall trend, EIA's forecast is looking quite
16 similar to the one that you have before you right now.
17 But there are differences and obviously that comes from
18 the input assumptions, which is they are using a
19 different model than we are. But in terms of the trend,
20 it is similar.

21 MR. WANG: I see. The reason I'm asking this
22 question, for your information, is because we have been
23 using the EIA forecasted Henry Hub price to build the
24 ISO Production Simulation Model to run the electrical
25 consumption, which is more or less similar to Angela

1 Tanghetti's -- their group of work. But of course, our
2 focus is on the power system, on the renewable
3 integration, and transmission congestion analysis.
4 Okay, you clarified the question. Thanks.

5 MR. BRATHWAITE: You're welcome, sir.

6 MS. KOROSK: We have one last question from a
7 name that's familiar to our staff here, it's from Jairam
8 Gopal.

9 MR. ANGHA: Actually, this is Amir Angha from
10 SCE, Southern California Edison. Jairam is in the room,
11 though. Thank you for the presentation. I have a
12 couple of questions. First of all, I wanted to confirm
13 that we also use the Market Builder in-house, and in the
14 future we would like to collaborate with you and your
15 staff in terms of sharing the information, or
16 assumptions that we have, and to the extent that you can
17 also share some of the detailed assumptions with us so
18 that we can comment on that, it would be great. I have
19 a couple of questions. Would you please elaborate more
20 on the small "m" model that you mentioned in your
21 presentation? Is it more a statistical model to come up
22 with the initial type and quantities, or something else?

23 MR. BRATHWAITE: Well, it is an econometric tool
24 that we use here at the Commission. It's Excel-based.
25 What it does is that within the model we have summary

1 regression functions set up, a bunch of regression
2 equations that we are trying to determine first the
3 elasticities and also the initial starting values, as
4 you are aware of. So that small "m" model, is what I'm
5 referring to as the Excel-based model that does our
6 regression and produces the initial starting values for
7 the general econometric model, the NAMGas Model.

8 MR. ANGHA: Okay, and how far did you go in
9 terms of the historical data? And my follow-up question
10 is how do we correct for basically the structural shifts
11 in the market due to shale or other things that we have
12 seen over the past couple of years?

13 MR. BRATHWAITE: Okay, your first question was
14 -- what was your first question, I'm sorry? Tell me the
15 first part of the question.

16 MR. ANGHA: The first one was how far of the
17 historical data do you use in that model. And the
18 second question is how do we correct, or like adjust for
19 the structural shifts in the gas market due to shale.

20 MR. BRATHWAITE: Okay, in terms of how far back,
21 we go back to 1986 in terms of the historical data.
22 Peter, that's correct, right? Yes, 1986. And it was
23 just confirmed by our Demand expert here, Peter Puglia.
24 Now, on the other side, in terms of your other question,
25 in terms of adjusting for the shifts in the gas market,

1 we do not, shall we say, physically adjust for any shift
2 in the market. What we do do is we represent the shales
3 in the individual supply cost curves, we input them at
4 hopefully an appropriate cost, and allow the market --
5 the world of the model -- to decide which one would
6 reproduce and which one will not be. So we do not do
7 any sort of physical alignment or realignment, but we
8 allow the market as it exists inside the model to make
9 that determination for us.

10 MR. ANGHA: Uh-huh. So in other words, I also
11 hear that you use like 70 years, '75, '86, and 2003, as
12 the reference cases, correct?

13 MR. BRATHWAITE: As a representative cost
14 environment, yes.

15 MR. ANGHA: Okay, but those years are all like
16 before this shale revolution, so I just wanted to see
17 what would be the impact of using those years as the
18 reference years in the model, rather than like a more
19 recent year to adjust for the new environment, the new
20 market structure?

21 MR. BRATHWAITE: Oh, I see your point, and
22 that's a very good point in terms of the revolution in
23 shale. As we go through this process, this much I can
24 promise, yes, we will be looking at that very issue.
25 Shale, you're right, shale is a game changer, it will

1 really change things in the marketplace, there's no
2 doubt about that, and we will be looking at that
3 variously in terms of what have happened to the cost
4 environment, is the new normal different from the old
5 normal, that is the question I think you are asking. So
6 we will try to make some -- we will try to discern
7 whether that is the case or not.

8 MR. ANGHA: Okay, thank you.

9 MR. BRATHWAITE: And that was a very good point.
10 I must compliment you on that.

11 MR. ANGHA: Thank you. And one last question.
12 Recently El Paso announced some exports to Mexico, some
13 new project --

14 MR. BRATHWAITE: Yes.

15 MR. ANGHA: Are you counting those in the model
16 in the reference case? And you know, any indication of
17 the impact on the Topock prices?

18 MR. BRATHWAITE: On this reference case, no, we
19 are not counting that, but this is something certainly
20 we would be looking at as we go to the next. Remember,
21 these are just preliminary and we're going to be doing
22 another round of runs here in the next -- certainly
23 within the next month. But if we have some good intell
24 on that and we know -- we are aware of the announcement,
25 if we have some good intell on it, sure, we certainly

1 will include it in the model.

2 MR. ANGHA: Okay, thank you very much. And
3 Jairam in the room has another question if you don't
4 mind.

5 MR. GOPAL: Leon, I was looking at the reverse
6 that you showed --

7 MR. BRATHWAITE: Yes.

8 MR. GOPAL: -- the number that you show for gas
9 exports, does that include LNG exports from these
10 liquefaction terminals?

11 MR. BRATHWAITE: Yes.

12 MR. GOPAL: So then the follow-up question would
13 be, you talk about saying that the exports were allowed
14 only in the high case, so how come we see so much the
15 exports in the other two cases?

16 MR. BRATHWAITE: Well, those are -- oh, no, let
17 me back up here for a second. Those are pipeline
18 exports, mostly.

19 MR. GOPAL: They are pipeline exports, too?

20 MR. BRATHWAITE: Yes. Those -- that number
21 represents both pipeline exports and LNG exports.

22 MR. GOPAL: Okay, and pipeline exports would be
23 to Canada and Mexico? Or just Mexico?

24 MR. BRATHWAITE: Canada and Mexico, which
25 probably corrects something I said previously; there is

1 some exports going into Mexico from the lower 48, but
2 the new stuff that was recently announced by El Paso,
3 that is not included at this point in time.

4 MR. GOPAL: Okay. And a clarification question.
5 The elasticity range that you provided, is that the
6 price elasticity?

7 MR. BRATHWAITE: Yes, it is. Yes.

8 MR. GOPAL: Okay.

9 MR. ANGHA: Thank you very much.

10 MR. BRATHWAITE: You're welcome. Thank you very
11 much for the questions.

12 MS. KOROSSEC: All right, we have time for one
13 final question, this is from Mia Vu from PG&E. Mia, I
14 believe your line is open.

15 MS. VU: Can you hear me?

16 MS. KOROSSEC: Yes, you need to step away from
17 your computer microphone, though. We're getting
18 feedback here from the time delay between us and you.

19 MS. VU: So what should I do?

20 MS. KOROSSEC: Yeah, that sounds good. Go ahead
21 now.

22 MS. VU: I need some clarification. You have
23 reference case and high consumption case and low
24 consumption case, but in the page 25, you also have a
25 high price case as well as low price case. Are the high

1 price case some problems in high consumption case?

2 MR. BRATHWAITE: Yes. I apologize if my slides
3 were a little bit unclear in that regard. The high
4 price case is all low consumption case, and the low
5 price case is a high consumption case. Obviously, we
6 are not seeing as much variation as we would like to,
7 and this is something that we'll be working on as we go
8 through this process; but just to clarify, our low
9 consumption case is a high price case, and our high
10 consumption case is a low price case. And the mid-case,
11 of course, is the reference case.

12 MS. VU: Okay, that helps. Thank you.

13 MR. BRATHWAITE: You're welcome.

14 MS. KOROSEC: All right. That is it for our
15 questions for this portion of the agenda. I think now
16 is time for us to break for our lunch.

17 CHAIRMAN WEISENMILLER: Right. Any public
18 comment?

19 MS. KOROSEC: That was --

20 CHAIRMAN WEISENMILLER: Just in terms of general
21 public comment, let's see if --

22 MS. KOROSEC: Oh, okay. Anyone here wants to
23 make a comment here before we break for lunch? All
24 right, great, so we will reconvene at 1:00. Thank you.

25 (Off the record at 11:59 a.m.)

1 (Back on the record at 1:13 p.m.)

2 COMMISSIONER MCALLISTER: Let's start off this
3 afternoon's session. We were talking about electricity
4 forecasts.

5 MS. KOROSEC: All right, we're going to start
6 with Chris Kavalec --

7 COMMISSIONER MCALLISTER: Actually, let me just
8 say we'll wait for Commissioners Florio -- well, we'll
9 get going now and Commissioners Florio and Chair
10 Weisenmiller will be with us when they can.

11 MS. KOROSEC: Right.

12 COMMISSIONER MCALLISTER: So we'll start off.

13 MR. KAVALEC: Good afternoon. I'm Chris Kavalec
14 from the Demand Analysis Office here at the Commission.
15 And I'm going to talk about a general approach and
16 assumptions for electricity and natural gas Demand
17 Forecast, what we refer to as the 2013 IEPR Demand
18 Forecast.

19 More specifically, I'll be giving a brief
20 overview of our forecasting timeline, talking a little
21 bit about our modeling approach, and then the main
22 topics, Economic and Demographic Assumptions and Other
23 Assumptions, which means efficiency and self-generation.

24 So we do this forecast every two years and
25 annually we provide an update for resource adequacy

1 proceedings for CAISO and the CPUC, and that's a short-
2 term peak forecast.

3 As Suzanne mentioned earlier, the first step in
4 this process is our request to the utilities for the
5 demand forms and instructions whereby they provide us
6 historical data on sales and rates and so on, and most
7 importantly their most recent forecast so that we can
8 compare it to our forecast.

9 Here we are at our workshop on Forecast
10 Assumptions; we will develop a preliminary forecast
11 which we will release in May; and we will have a
12 workshop towards the end of the month. Before that
13 workshop, we will also talk to our stakeholders and the
14 larger utilities and talk about any big differences in
15 our forecasts and attempt to resolve those differences
16 before we get to the workshop, itself.

17 And after the preliminary workshop, based on
18 input and comments, we will make adjustments to the
19 forecast as needed and we will also update our economic
20 and demographic projections and release a revised
21 forecast in August. And if everything goes well, that
22 Demand Forecast will be adopted in the fall.

23 Okay, when we forecast, we forecast for
24 individual sectors listed here: residential,
25 commercial, and industrial end use methodologies. The

1 residential and commercial models date back to the late
2 '70s and have been updated over the years with
3 Residential and Commercial Saturation Surveys. More
4 about the industrial model in a minute.

5 In the last forecast, we also estimated
6 econometric models for the three big sectors,
7 residential, commercial, industrial, as sort of a cross
8 check, and to supplement our end use methodologies. For
9 example, we replaced the price elasticity in the
10 Residential End Use Model with one we estimated in the
11 Residential Econometric Model. We also used the
12 Econometric models to estimate impacts from climate
13 change.

14 There are summary and peak models on the next
15 slide, but let me just mention that in the future we're
16 looking at revising our models and using what's referred
17 to as a hybrid methodology, meaning a combination of
18 econometric and end use elements. Basically what we're
19 trying to do is combine the best of both worlds in these
20 methodologies, so we'll have the detailed end use model
21 combined with the behavioral characteristics that you
22 can estimate through an econometric model.

23 Here's what our structure looks like. The
24 residential and commercial models are actually made up
25 of two sub-models, a model in the residential case for

1 projecting the number of households by type, and the
2 actual energy model and commercial has a floor space
3 component to project floor space and an energy model.
4 For agriculture, we forecast for three different
5 segments; in industrial, we divided up into thermal
6 processes, production processes, and other end uses.

7 Results from the sector model are provided to
8 our summary model, where results are aggregated, weather
9 adjusted, and calibrated. And also, the summary model
10 provides end use results to our peak model, where hourly
11 load shapes are applied just to produce an annual peak
12 projection.

13 As we go from forecast to forecast, we attempt
14 to improve our methodologies and here's a list of what
15 we're currently working on. Our Industrial Econometric
16 End Use Model dates back to before deregulation, and we
17 never got the computer code for that model. The idea
18 was that there would be a users group to support the
19 model and any changes you want to make to the model.
20 Unfortunately with deregulation, that all fell apart,
21 and so we were left with this industrial model without
22 the computer code, and we've made some improvements over
23 the years, but there's only so much we can do without
24 the code itself.

25 So what we're doing is revamping this model,

1 rebuilding it from the ground up, although we use the
2 same basic methodology, meaning it's forecasting at the
3 subsector level -- subsector, for example, is paper or
4 textiles is another one -- and the forecast is based on
5 projected output for those subsectors, industrial rates,
6 and then energy characteristics. For example, motor
7 efficiencies is a critical variable in the industrial
8 model.

9 We're introducing a Self-Generation Model for
10 the commercial sector. By self-generation, I mean
11 distributed generation that's used on-site. In the last
12 forecast, we introduced a residential model which seemed
13 to get pretty reasonable results, and in this forecast
14 we'll attempt to supplement that with a commercial
15 model.

16 In the last forecast, we incorporated climate
17 change into our peak demand by estimating potential
18 increases in average temperatures because of climate
19 change, and in this forecast, we're going to incorporate
20 climate change also into our energy forecast through
21 degree days, cooling degree days and heating degree
22 days, and also extreme weather. When we do a peak
23 forecast, we do a 1 in 2 peak forecast, which means a
24 forecast assuming "average weather in a given year," and
25 we do a 1 in 10 forecast, which is for more extreme

1 weather; in other words, when you're up at the 90th
2 percentile in terms of temperatures historically. The
3 one in ten peak forecast is important for resource
4 adequacy purposes, so the question here is whether
5 climate change would affect the relationship between one
6 and two and one and ten. In other words, if we have
7 more extreme temperatures, will the one and ten peak
8 increase relative to the one and two.

9 So we have Scripps Institute working on that for
10 us and, if all goes well, the results of their analysis
11 will be available to us so that we can incorporate that
12 into a revised forecast.

13 We are estimating econometric models for natural
14 gas to go with our Electricity Econometric Models that
15 we've already estimated, and we're presenting results at
16 the climate zone level. We forecast for eight different
17 planning areas, Burbank, Glendale, Imperial, LADWP,
18 Pasadena, PG&E, Edison, San Diego, and SMUD. And within
19 those planning areas, some of those planning areas are
20 multiple climate zones. For example, PG&E has five,
21 Edison has four, and historically we used climate zones
22 in order to get a better estimate of weather sensitive
23 electricity and natural gas use because we know that
24 weather sensitive use is very different comparing the
25 coast to inland areas, or the north versus the south.

1 So this time we're going to provide not only weather
2 sensitive usage at the climate zone level, but also the
3 rest of the non-weather sensitive usage.

4 So this is the first step in our effort to
5 provide a more disaggregate forecast, and this is a
6 discussion that we're going to be having in the next few
7 months, or a year or so, because there are a lot of
8 issues to consider when disaggregating in a forecast
9 beyond the climate zone or the county level, not the
10 least of which is data. If we're going to provide a
11 more disaggregate forecast, we're going to need to get
12 more disaggregate billing data from the utilities. So
13 that would involve some negotiations and probably some
14 lawyers getting involved, and so on.

15 Also, our large-scale saturation surveys will
16 have to become larger scale in order to cover a more
17 disaggregate geography. And if we start talking about
18 going down to a Zip Code level, or a Census Tract level,
19 or Busbar level, then you have to start thinking about
20 things like zoning laws, where the new housing
21 developments are going to be, whether a large industrial
22 customer is going to leave in the next few years, or
23 whether a large customer is going to come in, and so on.

24 And finally, we have to think about resources
25 and it will take more people and probably more

1 consultant dollars to put together a forecast the more
2 disaggregate that you go.

3 Okay, when we forecast, we attempt to provide a
4 range through three scenarios, a high, a mid, and a low.
5 And the main factor driving the differences among these
6 scenarios is economic and demographic growth, higher in
7 the high case, lower in the low case. But we also make
8 other assumptions to increase the demand in the high
9 case and lower it in the low case. We assume lower
10 rates in the high growth case, lower efficiency program
11 impacts, lower self-generation impacts, and stronger
12 climate change impacts, and the reverse in the low case.

13 Now, one could make the case that these
14 scenarios may not always be 100 percent consistent; for
15 example, if you have high economic and demographic
16 growth, well, you're putting upward pressure on demand,
17 and therefore upward pressure on rates, so maybe it
18 makes more sense to have high economic growth with
19 higher rates rather than lower rates. However, we are
20 attempting to provide a scenario that makes the
21 assumption that these factors come together to provide
22 the highest possible, or lowest possible scenario. And
23 a scenario like I just mentioned, high economic growth
24 and higher rates, would fall within this range. So it
25 would be covered by this range. But if you feel

1 strongly about the consistency issue here, we want to
2 hear from you and your comments.

3 Here are the important economic and demographic
4 variables that we use: personal income and number of
5 households for the residential sector, along with
6 persons per household; and then in the residential
7 econometric model, we use the unemployment rate;
8 commercial end use model is a function of floor space,
9 which is estimated by various economic and demographic
10 variables; and the industrial model, as I mentioned
11 before, we forecast down at the subsector or NAICS
12 grouping level using projected employment, or projected
13 output in that subsector; population is of course
14 important because it drives number of households in the
15 residential model, it also is important for floor space.
16 And I'm in the midst of attempting to incorporate
17 financial variables into our econometric models because
18 we know that variables like foreclosures and
19 bankruptcies were important in the last few years in
20 terms of energy use. So if variables like that yield
21 significant coefficients, they'll be part of the
22 econometric models.

23 Okay, economic scenarios available, we have
24 many. Moody's provides seven scenarios, a base case and
25 six alternative scenarios listed here. Global Insight

1 provides three, a base, a high, and a low. Our new kid
2 on the block, or at least new kid in California, is
3 Oxford Economics, which we're trying out for this
4 forecast. And we also look at UCLA's base case. UCLA
5 doesn't provide all the variables that we need for the
6 forecast and they don't forecast our far enough, so
7 we're not actually using UCLA in the forecast, but it's
8 provided here as a reference.

9 So for employment, here is what all the
10 scenarios look like -- and this is a perfect example of
11 too much information on one graph. But if you look
12 towards the right-hand side, in 2024, you'll see the
13 range that we end up with there at the end of the
14 forecast period, and that range is bracketed by Global
15 Insight low case on the low end, and Global Insight high
16 on the high end. A similar situation for GSP, Global
17 Insight on bracketing the range, and then the Moody's
18 base case right in the middle there.

19 So from these, we want to choose three scenarios
20 to use for our forecasts, so a possible candidate for
21 the low case would be the Global Insight low case, the
22 lowest one in there, the dotted line shown there.
23 However, if we look at manufacturing output, we see that
24 Moody's forecasts, or Global Insight's forecasts, the
25 three dotted lines there, are much higher than the other

1 forecasts. So we've talked to Global Insight about this
2 and it basically comes down to they're just a lot more
3 bullish on manufacturing in California than the other
4 forecasters, especially in electronics and computers and
5 high tech, that's what's driving this rapidly growing
6 forecast.

7 But anyway, my point is that it doesn't make
8 sense to me to use the Global Insight low as a low case
9 when in manufacturing it's so much higher than the other
10 cases.

11 Going back, my proposal is then in the longer
12 term to use the next lowest case, which is Moody's S5,
13 lower long-term growth, that's the orange line there,
14 the second lowest towards the right-hand side of the
15 graph. In the shorter run, though, we know that there's
16 also still uncertainty and it's still possible we could
17 go into another recession, not as likely as, say, a
18 couple years ago, but it's still a possibility, although
19 it probably wouldn't be nearly as bad as the one we had
20 in 2008. So I'm also proposing to combine this lower
21 long-term growth case with one of these cases that shows
22 a slump in the short-run.

23 So let me be more specific here. Here's our
24 proposed scenarios for economic growth. In the high
25 case, the Global Insight high which was the highest as

1 we saw, the mid-economic growth case would be the
2 Moody's base case, which was right in the middle of all
3 those scenarios, and then in the low growth case, I
4 propose combining Moody's S3, a second recession,
5 although mild compared to the one in 2008, and in the
6 short-run combined with Moody's S5, lower long-term
7 growth in the long-run.

8 And here are some factoids about these
9 scenarios. In the high case, the assumption is that the
10 European debt crisis goes away, unemployment drops to
11 below seven percent by the middle of this year, and the
12 recovery in housing is very strong. In the mid-case, on
13 the other hand, unemployment continues to drop, but not
14 by as much as in the high case, and there's a housing
15 recovery, but not nearly as strong as in the high growth
16 case.

17 And in the low economic growth case, in the
18 short-run, second recession, unemployment goes back up
19 to 11 percent temporarily, the housing market gets
20 worse, foreclosures go up, and then in the longer term
21 we have a contractionary fiscal policy and the European
22 debt crisis continues. So we want to hear from you,
23 what you think of those scenarios, should we be
24 considering other ones? Do these seem reasonable?

25 And here's what they look like for employment.

1 In the low case there in the green, you'll see that pink
2 in the middle, that's where the S3 case, the mild
3 recession combines or intersects with the lower long-
4 term growth case. So basically this scenario is the S3
5 until 2018, and then it becomes the S5 lower long-term
6 growth.

7 Here's what it looks like for GSP and here's
8 what it looks like for manufacturing output.

9 We also want to do scenarios for population and
10 I show four here, starting at the top with Moody's, and
11 then Global Insight below it. Unlike the economic
12 scenarios, Moody's and Global Insight only provide one
13 population scenario. And you'll notice DOF there in the
14 green, this is the forecast they recently released, it's
15 lower than the others and this is a pretty low forecast,
16 it's less than one percent population growth for the
17 next 10 years, which is the lowest that I remember them
18 ever putting out.

19 And I recently checked the forecast by the
20 Public Policy Institute of California which uses the USC
21 Demographic Unit, and their population forecast was in
22 between the Global Insight in red and the DOF in green.
23 So we typically consider the DOF forecast the "official"
24 population forecast for California, but it's lower than
25 all the other ones. So if these were the only scenarios

1 available, I would propose to use the DOF base case for
2 the low demand scenario, the Global Insight case for the
3 mid, and the Moody's case for the high; however, DOF is
4 also providing us two alternative scenarios at the end
5 of this month, so I wanted to look at those first before
6 I make a specific proposal for population. So I
7 apologize that's not available yet and we do want to
8 hear from you, any thoughts you have on the population
9 forecasts.

10 Okay, turning to efficiency, we historically
11 make the distinction between committed efficiency or
12 efficiency from initiatives that have been approved,
13 finalized, and funded and/or already implemented, and
14 uncommitted efficiency, meaning savings from initiatives
15 that have not been funded or approved yet. There are
16 many that don't like the word "uncommitted"
17 because it has a negative connotation, it doesn't sound
18 as likely if you start a word with "un." So I'll float
19 out the alternative possibility of "achievable" here for
20 "uncommitted" and see if that sticks.

21 So as we go from forecast to forecast, some
22 initiatives that were previously -- they were considered
23 previously as achievable become committed. An example
24 of that is the latest Title 24 Appliance Standards that
25 have been approved, were not part of our baseline

1 forecast in 2011, but now, since they have been
2 approved, they're final, they will be part of the 2013
3 IEPR forecast.

4 Another example is the 2013-2014 IOU Programs
5 which were considered achievable in the last forecast,
6 but now have been approved by the CPUC, so they'll be
7 part of our baseline forecast. And in addition, 2012
8 POU Programs.

9 Now, within these scenarios, the way it works
10 for Standards is that the higher the demand, since you
11 have more houses being built, more commercial floor
12 space being built, the standard savings are going to
13 increase, so they'll be higher in the high demand case,
14 and lower in the low demand case.

15 COMMISSIONER MCALLISTER: Chris, can I just jump
16 in real quick and comment on the efficiency? I think
17 the IEPR is a perfect forum to be having this
18 discussion, I wish Commissioner Florio were here with us
19 right now, but I wanted to just highlight that there's a
20 really robust discussion going on about this right now
21 between the three agencies, essentially -- and you're
22 aware of that -- and I think the role, kind of a
23 question, is what are likely outcomes from efficiency
24 and how -- and which should or might not be included
25 into the case forecast?

1 And so it's really the PUC has a great interest
2 in this because, you know, they run the investor-owned
3 utility energy efficiency programs. But the ISO does
4 also because they need to make a judgment about what
5 forecasts they're going to really operate from, and so I
6 think this is a real critical discussion not just from
7 the perspective of energy efficiency, there are other
8 aspects of the electricity demand scenarios that impact
9 the base forecast, as well, they all sum up to the base
10 forecast. But I think this is a particularly topical
11 one, one I'm really looking forward to fleshing out in
12 our IEPR workshops going forward, so just to highlight
13 that.

14 MR. KAVALEC: Yeah, and I have another slide on
15 that topic coming up, so we can get into it more if you
16 want.

17 COMMISSIONER MCALLISTER: Great.

18 MR. KAVALEC: So for the IOU efficiency programs
19 for 2013-2014, my proposal is to have low program
20 savings, lower program savings in the high demand case,
21 and higher program savings in the low demand case. In
22 the mid case, we'll be using utility forecast net
23 savings recently filed with the CPUC. In past
24 forecasts, we have taken these utility forecast net
25 savings and made downward adjustments to them by some

1 estimated realizations rate because history has showed
2 us that we've had instances where utility forecast net
3 savings ended up being higher than what was actually
4 realized. However, as I understand it, for the 2013-
5 2014 forecast net savings, these have already been
6 adjusted to be consistent with the 2006, 2008 CPUC EMV
7 results, so that they are fully adjusted through the
8 DEER (Database for Energy Efficient Resources) process.
9 So we feel comfortable using these forecast net savings
10 as is because that adjustment has already been made.

11 In terms of a low and a high, I propose 10
12 percent lower and 10 percent higher. And that 10
13 percent is a semi-scientific number that comes from
14 scenarios that we did earlier this year with Navigant
15 when we were estimating the incremental uncommitted
16 savings for the CPUC, for the LTTP process. And we ran
17 these scenarios and found that there was a maximum of 10
18 percent higher and 10 percent lower for programs,
19 depending on how we changed the inputs. So that's how I
20 came up with this 10 percent number.

21 Okay, uncommitted or "achievable" efficiency.
22 This is going to be based on the CPUC Goals Study, so
23 since that hasn't been completed yet, this won't be part
24 of our preliminary forecast, but it will be part of the
25 revised version. Our plans are to begin work in May

1 when the Goals Study is complete, with Navigant and CPUC
2 staff to begin to develop reasonable incremental
3 achievable savings. Oh, I should say here that the key,
4 what we're measuring here, is incremental achievable
5 efficiency; that is, achievable efficiency that doesn't
6 overlap with committed efficiency that's already in the
7 baseline forecast.

8 So we will begin to develop these incremental
9 achievable efficiency scenarios, and we will also have
10 CAISO involved, they have agreed to take part in this
11 process, and the goal is to develop one or more
12 incremental achievable efficiency scenarios that we're
13 all comfortable with, and that not only can the CPUC use
14 for their LTTP process, but also CAISO can use for their
15 analysis, for example, transmission planning.

16 And the Commissioners can -- correct me if I'm
17 wrong -- but I think the plan is that this incremental
18 achievable scenario, or scenarios, would be adopted
19 along with the baseline forecast.

20 COMMISSIONER MCALLISTER: I think the adoption
21 -- yeah, so they would all be adopted together, that
22 would be the plan, and the question is whether sort of
23 there's -- how it's presented, sort of, you know, what
24 is the final sort of base -- what we're all considering
25 the base forecast, and what does it include, what does

1 it not include.

2 MR. KAVALEC: So when we refer to a baseline
3 forecast, that means -- or it has meant -- a forecast
4 that only includes committed efficiency savings. So the
5 question is, when we adopt these incremental achievable,
6 will they become a part of the baseline forecasts, or
7 will they remain separate from the baseline forecast, I
8 guess, is the question.

9 COMMISSIONER MCALLISTER: Right. I think that's
10 still an open question.

11 MR. KAVALEC: Okay, finally, self-generation.
12 As I mentioned, we're putting together a predictive
13 model for the commercial sector to go along with our
14 model for the residential sector that we used last time.
15 And these are models that are based on payback, which in
16 turn are based on initial costs, incentives like tax
17 credits, and avoided rates. And within our scenarios,
18 we have two opposing effects. In a low demand case with
19 higher rates, you have more adoption because of the
20 higher rates, and then in the higher economic growth
21 case, or demographic growth case, you have higher
22 population growth, therefore more households, more
23 commercial establishments, and therefore higher demand,
24 all else equal, for self-generation, or distributed
25 generation technologies.

1 At least in the last forecast, it netted out
2 that the first effect was stronger than the second, so
3 the higher rates had more impact than higher population
4 growth, which means that in the low demand scenario
5 you'll have more self-generation than in the high demand
6 scenario.

7 It's also possible that we could develop another
8 scenario, for example, we could assume that CSI
9 incentives and/or the Federal Tax Credits will be
10 reinstated in 2016, but I haven't heard anything
11 definite moving in that direction, maybe someone has
12 more intelligence than I do. And also, I don't mention
13 it here, but in our Demand Forecasts, we include non-
14 event-based demand response, so that's demand response
15 from programs like permanent load shifting, critical
16 peak pricing. It doesn't amount to much right now, it's
17 less than 100 MW for the entire state, but it will
18 become more important as the years go by. And I say
19 "non-event-based" and that's to distinguish from event-
20 based demand response, which is considered on the
21 resource side, or on the supply side, as it's not part
22 of the Demand Forecast.

23 So with that, I'll ask the Commissioners for
24 questions or comments.

25 CHAIRMAN WEISENMILLER: Yeah, I had one question

1 on the Building Standards part, and that is it would
2 seem like, with higher demographics, they'll be more
3 building starts and we may well find higher energy
4 efficiency savings from the Building Standards than
5 with, yeah --

6 MR. KVALEC: Yeah, so I made the distinction
7 between what's going to happen with the standards, which
8 will increase with demand in our efficiency program
9 scenarios, where we assume low savings in the high
10 demand case, and vice versa in the low case. But, yeah,
11 you're right.

12 CHAIRMAN WEISENMILLER: Right.

13 COMMISSIONER MCALLISTER: I'll just ask a couple
14 questions here. So let's see, on slide 7 you had talked
15 about, oh, let me see, that's the problem with waiting
16 until the end for questions. But you had talked about
17 the disaggregation and I'm very excited about that, to
18 get a more granular view of the forecasts, certainly
19 moving in the climate zone, down to the climate zone
20 level is a big step in the right direction. I'm
21 wondering -- and then you also said the regional
22 approach is essentially by utility service territory, or
23 by --

24 MR. KVALEC: Yeah, we call them planning areas.

25 COMMISSIONER MCALLISTER: By planning areas,

1 exactly. So you could actually have outputs from this
2 that are by climate zone and by planning area, right?

3 MR. KAVALEC: Yeah, that's what we're planning
4 to present for this forecast.

5 COMMISSIONER MCALLISTER: Yeah, so I think
6 that's a big step in the right direction and it actually
7 begs the question for me, are you -- and given the land
8 use questions and sort of the next couple steps you'd
9 have to take down the road to really get a granular
10 forecast, I'm wondering how -- whether and how you're
11 developing relationships with the MPOs and the COGs who
12 actually do land use planning, and transportation
13 planning, and are really on the ground sort of figuring
14 out what those localities are going to look like in the
15 future.

16 MR. KAVALEC: Yeah. So the way I envision it,
17 if we go this route, we would have to have economic and
18 demographic projections down at, say, the Census Tract
19 level. And those would have to be informed by whatever
20 information we have for land usage and zoning and so on
21 at the local level, so we would definitely have to work
22 with the local communities when we put this together.

23 COMMISSIONER MCALLISTER: What's your sort of
24 stepwise timeframe for making that happen? Sort of see
25 how it goes this time? And then in the next update,

1 take the next couple steps?

2 MR. KAVALEC: Yeah. I think, as I mentioned, we
3 want to have this conversation in the next few months
4 and decide on a strategy and a plan, and begin to put
5 that strategy in place by the next forecast. And you're
6 right, it probably won't be complete by the next
7 forecast, but we'll take the next major step for the
8 2015 IEPR Forecast.

9 COMMISSIONER MCALLISTER: I think that would be
10 very exciting and I think you'd find a lot of
11 enthusiasm. And one big question, as I think you said,
12 was the resources and sort of what that looks like in
13 practice --

14 MR. KAVALEC: That's right.

15 COMMISSIONER MCALLISTER: -- because that does
16 become a much bigger lift. So that's the only question
17 I had for now.

18 COMMISSIONER FLORIO: Just on this question of
19 the incremental achievable energy efficiency, you know,
20 you're waiting for further information on that, is that
21 ultimately a policy decision at the end of the process,
22 whether to include it in the baseline, or have it
23 alongside the baseline?

24 CHAIRMAN WEISENMILLER: Typically we've adopted
25 it separately and I think, you know, the issue in part I

1 think the PUC is concerned on is that we typically do
2 low/high/medium, you know, expected. And so presumably
3 you want to be using something like "the expected case."
4 And I think the concern is, if you're using expected,
5 and say the ISO is using the low, then you have these
6 sort of mismatches.

7 COMMISSIONER FLORIO: Yeah.

8 CHAIRMAN WEISENMILLER: But our hope is at this
9 point, when we get everyone agreed that the expected
10 case is the expected case --

11 COMMISSIONER FLORIO: Yeah.

12 CHAIRMAN WEISENMILLER: -- and at some point it
13 becomes just arithmetic, you know, you then adopt it in
14 that, but, again, it's just how do you get to the stage
15 where we're all agreeing upon what's expected. And
16 that's why it's important that you're here today and
17 certainly it's important the ISO is here listening, so
18 that again we can get a consensus on what's reasonably
19 expected.

20 COMMISSIONER FLORIO: That's the challenge,
21 yeah.

22 COMMISSIONER MCALLISTER: I would add to that
23 that, you know, partly the near term is "committed,"
24 that's obvious, it's going to happen, it's funded and
25 everything, and so I think the question is how we then

1 approach the out years, and particularly the further out
2 years, and sort of how we can quantify both the expected
3 and what the uncertainty around that expected is, and
4 incorporate that into the forecast. And I think the ISO
5 has a view of how they would expect to -- how they look
6 at that issue, and obviously none of us want to undercut
7 the importance of energy efficiency, and not create a
8 self-fulfilling prophecy where it's undervalued. And so
9 I think that's the concern, to make sure that it's
10 right, that it doesn't undercut the future value of
11 energy efficiency so that we don't over-procure, but at
12 the same time, you know, is low enough risk.

13 CHAIRMAN WEISENMILLER: And it's good to talk a
14 little bit about the disaggregation because obviously at
15 some point if we disaggregated down to, say, the Busbar,
16 you know, we'd be basically then having to forecast,
17 say, for Hewlett Packard what is their growth going to
18 be at that particular Busbar, and the econ demo. So,
19 you know, as I say, we're going step by step. I know
20 the things you would like to get to are very
21 disaggregated, but we're certainly going to run into
22 limits as we step forward on just how far down we can
23 go. But presumably we can do better than service
24 territory-wide, or climate zone-wide, to at least
25 another couple levels down before we just, again, run

1 into the privacy questions. So, again, we need the econ
2 demo forecast, so can you recall do that at a Busbar
3 level?

4 COMMISSIONER MCALLISTER: Well, at some point
5 you've got to draw the line when you start having to do
6 distribution grid planning as part of your forecast, so
7 we don't want to necessarily go there; but to the
8 substation level, perhaps, or something like that. I
9 mean, that could be useful if we have the computing
10 power and the resources to sort of put it together in a
11 way that makes sense.

12 CHAIRMAN WEISENMILLER: It wouldn't be unusual
13 for, say, Hewlett Packard to own its substation, so when
14 you get to that point, you would be -- as opposed to I
15 think there's a substation for the whole subdivision, or
16 for that part of town.

17 COMMISSIONER FLORIO: And the ISO local capacity
18 areas, of which there are like 11 or 13, would be
19 another more aggregated, but at a level that could be
20 used for grid planning. That might be a mid-point along
21 the way.

22 MR. KAVALEC: And this is a discussion we want
23 to continue with our Demand Analysis working group.
24 We'd also like to hear from our academic expert panel,
25 have them weigh in on this, too.

1 So if the Commissioners didn't have anything
2 else, we can go to questions in the room.

3 COMMISSIONER MCALLISTER: Yeah, please, let's go
4 to questions.

5 MR. MARTINEZ: Hello Commissioners, Chris
6 Kavalec, thank you for the opportunity to speak. My
7 name is Sierra Martinez and I'm representing NRDC.
8 Thank you, Chris, for this updated efficiency forecast.
9 I see a lot of progress being made, especially in this
10 uncommitted realm.

11 I think with regards to the question of which
12 case should be the expected case that this Commission
13 adopts, the one that includes uncommitted efficiency, or
14 the one that excludes uncommitted efficiency, I think
15 it's critical that this Commission choose the expected
16 case that includes the uncommitted energy efficiency.
17 There will be reasonable debate about how much future
18 energy efficiency will or won't materialize, but we need
19 to move beyond the threshold question of whether it will
20 materialize and move on to how much of it will
21 materialize. We can all agree that that answer will not
22 be zero. And for this Commission to adopt one that
23 excludes uncommitted energy efficiency would mean that
24 this Commission expects its own future Title 24
25 Standards to not accomplish energy efficiency savings,

1 which would contradict the Commission's own work, as
2 well as the loading order.

3 So I urge this Commission to take this
4 opportunity to work with the joint energy agencies; as
5 we saw in the recent Senate Energy Committee Hearing,
6 there's a real need to coordinate and better incorporate
7 future energy efficiency in our Demand Forecast and how
8 we rely on it in procuring supply-side resources. We'll
9 have more comments in our written comment. Thank you
10 very much.

11 MR. KAVALEC: That's "achievable," Sierra, not
12 "uncommitted." Don't be so negative. [Laughing]

13 MR. MARTINEZ: Which is a second comment that I
14 have -- we'll write more on it -- but I agree
15 wholeheartedly that "uncommitted" is a term that is not
16 flattering and we could move beyond something maybe like
17 -- I just want to make sure there are nuances with the
18 potential study that CPUC is undertaking in the universe
19 of achievable savings, and to make sure we don't
20 conflate the two. But I agree with the direction of a
21 more positive label.

22 COMMISSIONER MCALLISTER: Thanks very much. I
23 appreciate your comments. And these are key issues
24 we're going to be talking about and I think -- and
25 there's broad alignment between the two Commissions, I

1 think, on the fact that it's going to be non-zero, and
2 certainly we don't want to just be inhibited by the
3 model doesn't have inputs for that, so we can't do it,
4 right? So that's not a productive approach. But a very
5 legitimate point of discussion is what the uncertainty
6 around future energy efficiency is, and how we reflect
7 that properly in the forecast, and I think the
8 discussion, at least the one that I want to have, is
9 really aimed at understanding kind of the -- certainly
10 make it not just a normative statement about what ought
11 to happen, but actually try to reflect what we think
12 will happen -- with everybody in the room, right?
13 Because the forecast isn't about what -- it's not about
14 what telling the world what -- you know, it's not an
15 advocacy exercise, right? So we certainly want to
16 reflect what we think is going to happen, but
17 understanding the possibilities and the probabilities
18 about what's going to happen and what the constraints on
19 that are, and what the bounds of it are, I think all are
20 important things to understand between the agencies so
21 that we can go forward. And I think we're going to
22 agree on most of these points, actually. So thanks.

23 MR. SENSTAD: Good afternoon, Chris,
24 Commissioners. I'm Alan Sanstad of Lawrence Berkeley
25 Laboratory. I want to make a comment and raise a

1 question regarding, again, the disaggregation issue that
2 complements Commissioner Weisenmiller's point about
3 privacy concerns.

4 As a general rule in modeling, there is in many
5 modeling domains, there are sort of ultimate tradeoffs
6 between precision and uncertainty, accuracy and
7 uncertainty, it's known as the "bias variance tradeoff"
8 in technical modeling terms, and what it implies is that
9 you cannot sort of, even subject to the resource
10 constraints for getting data and so forth, you can
11 overcome those, you cannot be guaranteed of sort of
12 unlimited gains and verisimilitude in the model as you go
13 down through further and further disaggregation. And
14 that becomes an issue, I mean, sort of on general
15 principles, but also there are -- one has to ask in the
16 context of the purposes to which the CAISO puts the data
17 because they're focused on risk and reliability
18 management, because there might be a question about how
19 much additional uncertainty, and therefore reliability
20 and risk is built into the forecast as you go to further
21 levels of disaggregation. So I want to flag that and
22 ask by way of question about whether these sort of
23 tradeoffs are being taken account of as you move forward
24 in this disaggregation discussion.

25 MR. KAVALEC: Yes, definitely. It's one of the

1 key factors in deciding on an ultimate level of
2 disaggregation where we want to end up in our forecast.

3 MR. VONDER: Hello. My name is Tim Vonder with
4 San Diego Gas & Electric Company, and I'm from their
5 Forecasting staff. I'm not going to take a totally flip
6 side of Sierra's comments, but I would like to say that,
7 when we approach energy efficiency and look at it as to
8 how it's going to be folded into a forecast, we see
9 there's a whole universe of potential for energy
10 efficiency. And when we move, well, when we do the
11 forecast of demand, it's fair to look at some or maybe a
12 major portion of that energy efficiency savings. But as
13 you move from the forecast to the resource planning
14 phase, there is a subset of that energy efficiency that
15 would be appropriate for resource planning, and you
16 might say, you know, it's on a more conservative nature,
17 rather than all encompassing. So the energy efficiency
18 program planners, we feel, should have a large scope of
19 energy efficiency to develop programs to meet, you know,
20 so it's kind of like pie in the sky, you know, go for
21 it. But as you move closer to resource planning, maybe
22 a subset of that is ready to move on to that next phase.
23 So we just want to say that, as we look at energy
24 efficiency as it relates to the forecast, maybe there's
25 two sets of -- or two scenarios that we might look at,

1 one with program planners in mind and another that would
2 have resource planners in mind when we move from the
3 Demand Forecast to the LTPP process. So I just want to
4 keep that in mind.

5 COMMISSIONER MCALLISTER: Thank you very much.
6 I really appreciate your comments. And I guess, so I'm
7 dying to know what you would call the subset, what name
8 would you give them?

9 MR. VONDER: I guess in the Regulations, I think
10 it's Section 454.5, says that for resource planning
11 purposes all energy efficiency that is to be considered
12 for that exercise should be able to demonstrate that
13 it's economic, feasible, and reliable. Now, that's kind
14 of a pretty tough test, but that's what the resource
15 planning phase expects.

16 COMMISSIONER MCALLISTER: So, Chris, could you
17 talk to that as sort of how those comments sort of are
18 or are not reflected in the plan that you presented
19 earlier for the scenarios?

20 MR. KAVALEC: Well, they're not specifically,
21 but I think that one way to approach this when we
22 develop scenarios is in terms of levels of certainty, so
23 the low scenario could be the most certain, and the high
24 scenario would add in the less certain, so you could for
25 example develop a low case where you include the next

1 round of IOU programs, along with the next two or three
2 sets of standards that are just about approved, although
3 not yet. And then for the high case, or the less
4 certain case, then you would go further down the road
5 and pick out future programs and future standards that
6 come later.

7 COMMISSIONER MCALLISTER: Yeah, so looking past
8 you have cost-effective energy efficiency, the
9 evaluation shows that it's got TRC greater than 1, we
10 don't need to get into those details today, but
11 essentially some assumptions of what subset of the
12 overall pie in the sky universe would fit into this sort
13 of cost-effectiveness reliability envelope seems like
14 there's a place for that in your process today, isn't
15 that right?

16 MR. KAVALEC: Yeah, and I think Navigant could
17 probably speak better on this, but you can develop
18 scenarios where you vary the level of cost-
19 effectiveness, so you have very highly cost -- if that's
20 a word -- highly cost-effective measures in your low
21 case and, as you move up to the high case, you have --
22 you're still above your threshold, but they're lower in
23 terms of cost-effectiveness.

24 COMMISSIONER MCALLISTER: Okay, thanks.

25 MS. KOROSEC: All right, we have one question

1 from an online participant. It's Dina Mackin from the
2 PUC. Dina, your line is open.

3 MS. MACKIN: Hi. This is Dina Mackin. To
4 clarify one point about the question of the uncommitted
5 forecast, we just wanted to clarify it's not so much a
6 matter of bad connotations; the term "uncommitted" is
7 inaccurate to a certain degree because of PU Code
8 requiring the Commission to achieve all energy
9 efficiency available as part of the loading order. So
10 in terms of our commitments that go from one cycle to
11 the next, the fact that we haven't authorized a budget
12 for future funding is more a matter of the nature of our
13 cycle and our program guidance than it is a term that
14 suggests that we may not fund energy efficiency in the
15 future.

16 Anyway, I think we've discussed that in the
17 past, but my question is about a point that Commissioner
18 McAllister had made earlier. He had indicated that
19 there was a possibility that we would keep the
20 incremental energy efficiency forecasts as a separate
21 product that would be released on the side of the Demand
22 Forecast. And I was wondering whether that is something
23 that you guys are in fact seriously considering and what
24 is the rationale for that.

25 CHAIRMAN WEISENMILLER: Well, again, you know,

1 basically the expected forecast will include that.
2 There will be -- again, you can have a line that -- and
3 typically I think we will have, like for ZEV -- we'll
4 talk later today -- for ZEV we will have an expected low
5 and high. And I would expect the expected to correspond
6 pretty much to the Governor's goals --

7 MS. MACKIN: Uh-huh.

8 CHAIRMAN WEISENMILLER: -- so this is not the
9 only one where there would be those pieces. Now,
10 presumably over time as you're tracking stuff, you can
11 do that. But, again, it seems like this is an important
12 area, we're trying to flesh it out, we're trying to get
13 consensus, so the more explicit everything is, I think
14 the more likely we're going to get people lined up.
15 But, again, certainly my recommendation typically is to
16 use the expected case -- and for your expected forecast.

17 MS. MACKIN: So --

18 CHAIRMAN WEISENMILLER: As opposed to the low or
19 the high case.

20 MS. MACKIN: So the expected case, could you
21 clarify, does that mean the base case, or does the
22 expected case include the incremental --

23 CHAIRMAN WEISENMILLER: Well, the expected case
24 would include some incremental, and I think what we're
25 struggling with is how much incremental, and there's

1 certainly -- you can get, for example, the proverbial
2 how much is even Sierra going to bet his life that the
3 Feds meet their goals for their Appliance Standards, you
4 know?

5 MS. MACKIN: Okay.

6 CHAIRMAN WEISENMILLER: Or, as we look at our
7 next round, again, you know, we have a pretty aggressive
8 set of standards out there for appliance standards. How
9 much of those do we include in a high case versus an
10 expected case? Or a low case, for that matter. You
11 know, what do we do at this point, for example, at this
12 point on our battery charger standards, which are
13 adopted and ready to go, the Feds preempt us in their
14 current draft. We'll know better in July whether
15 they're going to continue to preempt us, but are those
16 in the expected case? High case? Low case? You know,
17 which case do we assume we're not being preempted in?
18 Obviously, there's a whole myriad of decisions like that
19 which collectively -- it should give you some degree of
20 comfort.

21 COMMISSIONER MCALLISTER: So I just want to
22 respond sort of to your question, which presumably is
23 more about the PUC portfolio than it is about the, well,
24 certainly some aspects of the Standards are included in
25 that question, but the question is how much is -- you

1 know, in the out years how we sort of figure out what of
2 the voluntary type programs, or the broad gamut of
3 funded programs that the investor-owned utilities are
4 doing, and the PUC is requiring them to do, and each
5 subsequent portfolio process, how we quantify what we
6 expect to happen there and project it out, and have a
7 conversation. In order to do that, we have to have a
8 conversation with the ISO included in this conversation
9 about, okay, well, what are they comfortable with? So I
10 think in some sense, having it be within the baseline
11 forecast, or somehow separate, which is the way it's
12 been in the past, I have no commitment to doing it
13 either way, I mean, I'd certainly as an energy
14 efficiency advocate in much of my career, I would very
15 much like to see aggressive energy efficiency going
16 forward. But whether or not it's within the baseline
17 forecast, we still need to have a conversation with the
18 ISO about how much they believe it's going to happen, or
19 what they have comfort around, so as part of their
20 planning process. So they have to be a part of this
21 conversation now and not just be expected to take what
22 we give them as sort of, you know, perceived wisdom. So
23 I think there is substance here that we need to have the
24 conversation about during the course of the IEPR, and
25 come out with hopefully what will be a consensus

1 opinion.

2 MS. MACKIN: Okay, that makes sense. And I
3 don't know if you guys know, but we have been much more
4 involved in conversations about this with CAISO in the
5 last couple months, and they have shown that they are
6 more committed now to modeling and incorporating in the
7 incremental forecast into their forecasting models. So
8 we've been working out a lot of these details with them,
9 so we'll be continuing to do that.

10 COMMISSIONER MCALLISTER: Great, great. Thank
11 you very much. Any other questions on the phone? Okay,
12 that's it.

13 MR. WENG-GUTIERREZ: Good afternoon,
14 Commissioners. My name is Malachi Weng-Gutierrez. I
15 work in the Demand Analysis Office. And today I'm going
16 to discuss the preliminary 2013 IEPR Electricity Demand
17 Forecast Rate. I'll touch on the efficiency and self-
18 generation components, and then I'll also talk about
19 electrification assumptions.

20 So as with the CED 2011, I decided to use the
21 Energy and Environmental Economics GHG Calculator as the
22 basis of the development of these scenarios. I'm not
23 necessarily wed to that as the basis of the rate
24 scenario development, but that was my kind of first stab
25 at developing the rates that I would start with the same

1 type of methodology that was used last time. I'm
2 certainly interested in hearing people's perspective on
3 other tools and other methods for developing these
4 rates, and other things that might need to be included
5 into the GHG Calculator, which are not innate to the
6 calculator itself. So, again, I'm looking to get
7 feedback on that, that tool certainly and what is
8 involved with it.

9 Primarily for the GHG calculator, I looked at a
10 couple of the input assumptions. These listed seven
11 input assumptions that are what I varied across the
12 scenarios, energy efficiency savings, the natural gas
13 and coal rates, electricity demand, renewable
14 generation, and combined heat and power, as well as
15 demand response assumptions, and there's a carbon price
16 element to it, as well. So these are the assumptions
17 that I looked at, and I'll talk about most of these in
18 detail in the following slides.

19 So I primarily looked at four different
20 scenarios. The first scenario titled Scenario Zero
21 basically has very little -- basically has low energy
22 prices, high energy electricity demand, and low levels
23 of EE, minimal PV, or photovoltaics. The photovoltaics,
24 the amount in megawatts here, is consistent with the CEC
25 2011 low case. There is no additional CHP added, and

1 then the amount of new renewable generation that was
2 included, this would be incremental to 2012 values, at
3 1,000 MW. So, again, consistent with the low rates that
4 were developed for the CED 2011.

5 There were no incremental or increased demand
6 responses over the base of calculation within the
7 calculator, and there were no added costs for carbon in
8 that evaluation, or in that scenario. Scenario 1 has
9 the same energy prices, as well as the same electricity
10 demand as the basis of the base calculation. There are
11 low levels of EE, so it would actually be a consistent
12 level with the scenario of zero, higher levels of PVs,
13 higher levels of CHP, significantly increased levels of
14 new renewable generation, but no initial demand response
15 added to that over, again, the base included demand
16 response.

17 In addition, in the final three scenarios, we've
18 included carbon prices as a factor that will influence
19 rates, and so that was with the -- Scenario 1 has our
20 lowest set of prices for carbon included into that
21 scenario. Scenario 2 is primarily the mid-case
22 scenario, and then Scenario 3 is our high case scenario
23 where we have primarily high energy prices, low
24 electricity demand, high levels of EE, the highest
25 amounts of PV and CHP, and also the highest levels of

1 renewable generation. In addition, there were
2 additional five percent demand response available over
3 the base levels, and the carbon prices were actually
4 pretty significantly higher than in our Scenario 1 or 2
5 cases.

6 So this is a graph that just shows the four
7 cases, in real terms 2010 dollars. These are aggregated
8 statewide and basically weighted by consumption numbers
9 from our QFER database. The outputs to the model, or to
10 the calculator itself, is actually by planning area.
11 So, again, I've had to aggregate them in order to show
12 them here. And you'll notice that in the 2016 through
13 2018 timeframe in the high case, which is Scenario 3,
14 there is that volatility that Leon had mentioned this
15 morning having to do with natural gas prices.

16 Oh, and one other thing I wanted to mention
17 here, the calculator itself only calculates values or
18 projected rates up until 2020. So post-2020, what I've
19 had to do is basically come up with a different rate.
20 The rate that I ended up using was between two different
21 rates. In the CED 2011 rates, the low rate, which again
22 included very little by way of new power generation, new
23 renewable power generation, as well as very little
24 carbon and other things, was about .8 percent annual
25 growth rate, was the general trend for that one. In

1 this Scenario 0, which has a different set of input fuel
2 prices, the growth rate is about 1.7 annually over the
3 2012 to 2024 timeframe, so for 2020 timeframe. So I
4 basically ended up using a value between the two, which
5 would be one percent. So after 2020, I'm using a one
6 percent growth rate as opposed to a trend from the prior
7 four years, or say a constant value from the final year
8 of the calculator, and so I would like to have some
9 input as to whether or not that's a reasonable -- what
10 might be an expected rate of growth in rates post-2020.
11 And this, again, gets into the uncertainty there. Maybe
12 there's a different growth rate for the high versus the
13 low, meaning it would be influenced by things like a
14 higher set of RPS standards that are implemented for the
15 long term, or, you know, other things that could
16 influence the rates that would be different across the
17 different price rates that we're looking at, or the
18 different scenarios.

19 So, again, here I've just used a constant one
20 percent across all scenarios, but it could certainly be
21 different, and it could certainly be influenced by a
22 number of other things.

23 So I'm suggesting to use the Scenarios 1, 2 and
24 3, so disregarding the Scenario 0, primarily because
25 these three scenarios have -- the inputs to these

1 scenarios are consistent with what Ivin had discussed
2 this morning about those cases which we're trying to be
3 consistent across all different inputs. So for example,
4 one of the things these are consistent with is RPS is
5 compliant in all three cases here, so we're making that
6 assumption and it's consistent with work that's being
7 performed by other staff in the Electricity Supply
8 Analysis Office.

9 So I mean, I'm just going to touch briefly on
10 these. The primary thing that I wanted to highlight
11 here was that I think the energy efficiency component of
12 it obviously, from that previously discussion, I think
13 has to change. I'll be looking closely at what we end
14 up putting in, or what we come to decide to put in.
15 Right now, I'm using those numbers which were in the
16 calculator from the last CED adoption, and I would
17 expect that those would change even with this
18 preliminary set of Demand Forecasts that we develop.

19 So I intend to change some of those values in
20 the calculator, and it should change the prices
21 slightly. So that's something that's kind of in flux
22 right now, but I intend to be consistent with what we
23 end up deciding would be an appropriate level of energy
24 efficiency.

25 Demand response, the values that are in there

1 right now haven't been updated in quite a while. I hope
2 to -- I've been trying to work with staff to get a
3 better estimate of what might be appropriate over this
4 timeframe, and I expect that we should be able to come
5 up with some other numbers that I'll put in there, and
6 so that would change slightly, as well.

7 The natural gas and coal prices are going to be
8 consistent with what Leon had suggested they use for the
9 preliminary, but as you heard from him as well, there
10 might be some variation in those prices as we get closer
11 to our final or revised Demand Forecast. So to the
12 extent that we can make changes to the prices to reflect
13 those changes, we'll do so. But there may come a time
14 when we obviously can't make changes to our prices, and
15 so we'll have to -- hopefully we'll be close to having
16 the final sets of natural gas and coal prices at about
17 the same time.

18 So one of the things that I did change from the
19 last time was the base demand inputs, so in the original
20 GHG Calculator they were using a set of Energy
21 Commission Demand Forecasts that ran from 2008 to 2016,
22 and I believe they trended it through 2020. But since
23 we had recent adopted Demand Forecasts, we could put in
24 the actual demand numbers, and that's what I put in,
25 instead of using what was in there before. And the

1 second and third bullet points here just indicate the
2 level of change in the inputs that resulted from the
3 mid-case. So it went from 321,000 GWh to 285 in the
4 year 2020. And then for the total peak load demand, it
5 also decreased significantly from 74,000 MW to
6 approximately 69,000 MW. So I think updating those
7 numbers with our Updated Demand Forecast, or the CED
8 2011 Demand Forecast, significantly lowered those
9 numbers.

10 Regarding the photovoltaic assumptions, or the
11 PV assumptions, I'm using basically as inputs to this
12 preliminary estimate, I'm using the outputs from the
13 adopted 2011 CED values. So the three values that are
14 listed under the preliminary 2013 IEPR are those which
15 were developed and adopted in the CED 2011. In general,
16 two of them are higher than the previous cases, but the
17 high in the low demand case here does not reach the
18 3,000 MW value, which I believe is a goal. So that
19 might be something that needs to be discussed and, if
20 that's an important value to input, then we should hear
21 about it. The reason why I am again using these three
22 sets of values is that they are consistent internally
23 with what other staff is using, so in order to be
24 consistent with everyone, these would be the numbers
25 that I could use. But certainly if we were going to

1 make -- if our office, our division is going to make
2 decisions about using different cases that don't
3 incorporate -- or, that do incorporate goals as opposed
4 to maybe they lower the outputs, then that's something
5 we need to hear about.

6 I'd also like to mention that, by using these
7 outputs from the CED 2011, the range of values are much
8 narrower, so at the end of the day, I think you're
9 getting a cone that's actually shrinking in size towards
10 the end of the forecast period. So that's another thing
11 to consider is that maybe it would be valuable to have a
12 wider range of values. But, again, I'm open to input.
13 These values here are consistent internally with what
14 we're doing, so those are kind of our preliminary set of
15 numbers we're using.

16 For the Renewable Generation Assumptions, I'm
17 basically using a set of latest CPUC-CEC generated
18 scenarios. These were generated for the LTTP in the
19 transmission planning process. They're much different
20 than what were used in the last IEPR round, and they are
21 all consistent with a compliant RPS future. So again,
22 looking at the actual megawatts here, they are
23 significantly higher than before, they're much narrower,
24 as well, so that the final set of values may not be as
25 wide as you'd expect from the last IEPR, but they are

1 internally consistent with what other staff is using,
2 so, again, if we wanted to deviate from those, we should
3 probably hear about it so that we can work with staff to
4 make sure that we're as consistent as possible, or not,
5 maybe we don't -- maybe for this exercise, or this
6 activity, we include a set of values which are not
7 consistent with everyone else's assumptions, but the
8 ideal would be that we are consistent.

9 Very similar here with CHP, there was a recent
10 report performed, a market assessment performed by ICF,
11 which redefined CHP values. They had a set of three
12 scenarios that they had developed. I used those values
13 to populate the calculator, that's what you see below as
14 the Preliminary 2013 IEPR Values. These are -- the one
15 point that I did want to make was that, in the low
16 demand case, in the prior CED 2011, the approximately
17 4,400 megawatts was what was identified as being
18 compliant with the AB 32 Regulations in the original
19 Scoping Order. Given the updated value for that, I
20 think is the 4,800 value that I have down here for the
21 Preliminary 2013 IEPR, partly increased because of line
22 loss values. I think the original calculation used a
23 static -- a single line loss value, and I've used more
24 of a disaggregated line loss to calculate that number.
25 So I think that in the low demand case that both of

1 those values would be consistent with the compliance
2 with AB 32; the other two cases obviously, in the past
3 we had zero values for CHP, but this time around I'm
4 just using values which again are consistent with the
5 scenarios developed in this Market Assessment Report.

6 So the next item would be the carbon prices that
7 are put into the model. So now that there's the cap-
8 and-trade regulation going forward, we would have a
9 number of auctions. The base auction price that we're
10 using is the \$10.71 per megaton CO₂ equivalent (MTCO₂e),
11 that's kind of the start for the prices in our time
12 series. We increased that for the lowest price series,
13 or time series, by CPI plus five percent, which is what
14 the minimum is supposed to be for the rate increase, or
15 the prices to increase. Then, in our mid-case, we used
16 150 percent of that low, and in our high case we used
17 300 percent of that low case, so CPI plus five, 300
18 percent of that would be our high case. Given that
19 there's a auction or a reserve, a three-tiered reserve
20 that is designed to mitigate the costs, high costs of,
21 say, an auction set of values, we're using that as the
22 high cap, so in no time during the forecast would it
23 exceed the third tier reserve price of \$50.00 per MTCO₂e.
24 So in 2020, the prices are \$20.00, \$29.00, and \$50.00
25 for the high, mid and low demand cases, respectively.

1 So this is just a table that shows all of the
2 inputs for the three different cases. If you recall
3 back to the previous slides, you know, some of the CED
4 2011 values were much lower, so again overall we're
5 having a narrowing of the inputs for the three different
6 cases. You know, if people have suggestions about how
7 to change those, that would be great or, again, if
8 there's a different calculator that could be used to
9 come up with some of these numbers or methodologies,
10 that would be great. I think in the near term, our
11 numbers are fairly -- the growth rates that we're seeing
12 are fairly consistent with some of those that have been
13 floated in either the CPUC adopted cases, or general
14 rate cases, or in rate analyses performed by the
15 utilities themselves.

16 So, again, the outputs for the Calculator are by
17 utility, so I just wanted to show the distribution of
18 rate increases over the timeframe that we're looking at
19 by the utilities. So LADWP shows the largest growth,
20 it's pretty significant, same with SMUD. These are the
21 percentage growths, so the actual rates would obviously
22 be different, so certainly not saying that -- in this
23 graph, I'm not representing that SMUD's rates are higher
24 than someone else's, it's just that the rate of growth
25 from their current levels is fairly high.

1 So what I'd like to do in the future, or in the
2 near term potentially, given time and resources, I think
3 is look more closely at the energy efficiency values
4 that are in the Calculator, make sure they are
5 consistent with anything that we come up with in the
6 near term, evaluate the costs of the new renewable
7 generation; these are the costs that ideally would be
8 used by the Electricity Analysis Office, making sure
9 they are consistent with what they're using. I'd like
10 to take a look at the impact of the Preliminary Demand
11 Forecast on the outputs of the Calculator, so as a kind
12 of iterative process, whatever we develop in our
13 Preliminary Demand Forecast, I would have as inputs, so
14 there could be a whole slew of things, CHP, PV, all
15 those things might be adjusted by whatever our input is
16 for our Demand Forecasts, and so I'll look at how that
17 influences the outputs, and then refine the Demand
18 Response values. As I indicated before, I think staff
19 is already looking into those, so hopefully they'll have
20 that relatively soon and I will be updating those values
21 accordingly. And then I think there's some complexity
22 to the cap-and-trade regulations as far as allotments
23 and allocations and revenue uses, which could impact
24 certain sectors differently. So I think taking a closer
25 look at that and how the revenues are expended to

1 mitigate the impacts to ratepayers, I think has to be
2 considered. So I'd like to spend some time doing that
3 as well to see how that might influence the final tariff
4 rates there, or the rates that are shown here. And that
5 is my final slide for the electricity rates.

6 The Electrification Assumptions that we have
7 this time around, I think primarily we're going to be
8 looking towards the Transportation Division for guidance
9 on most of these. For CED 2011, the Demand Analysis
10 Office received electricity demand for Plug-In Electric
11 Vehicles which, you know, I think the low case was
12 exactly compliant with the ZEV mandate, and then the
13 higher cases had higher levels of electricity demand
14 from higher market penetrations of PVs. So whatever
15 Transportation decides -- however they decide to address
16 the ZEV mandate and incorporate that into their Demand
17 Forecast, we would like to have that as our inputs to
18 our Demand Forecast for electricity.

19 In addition to the Plug-In Electric Vehicles,
20 we're obviously looking at Fuel Cell Vehicles which
21 could be a major electricity demand if it is a primary
22 method of ZEV compliance, so they might play a larger
23 role than they have traditionally. It all depends on
24 how transportation decides to handle the ZEV compliance.

25 Port electrification, the ARB has the At-Berth

1 Regulations, which limit emissions at the ports, and so
2 there is a trend towards more electrification at the
3 Ports, so it would be great to receive some information
4 on that and estimate that demand over the timeframe that
5 we're looking at, as well as high-speed rail, which is
6 another potential high energy demand source there. So,
7 again, we're going to I think look towards
8 Transportation to determine how best to address these
9 elements, and then incorporate them accordingly into our
10 Demand Forecast -- truck stop electrification as well
11 falls into that category.

12 The Bay Delta Conservation Plan, that's
13 something that I think we need to spend a little time
14 looking at. I think it could increase ag load, I'm not
15 sure to what extent, but I think it will be constructed
16 within the timeframe of our forecast. So depending upon
17 how significant it is, it may have to be included in our
18 Demand Forecast in some way or another. So those would
19 be my suggestions for electrification.

20 And with that, I think I'm done, so I would be
21 happy to answer any questions you have.

22 COMMISSIONER MCALLISTER: Thanks for that. That
23 was a clear presentation. Just a couple of questions,
24 one kind of a comment first.

25 So there's lots of talk about sort of the

1 mandates on the electric sector and how it's going to
2 force rates up, and your last few slides I think
3 indicated that many of those issues, you know,
4 incorporation of renewables, figuring out -- well, lots
5 of different influences that the utilities are having to
6 invest in their infrastructure, and the RPS mandates,
7 things like that are going to force rates up, I guess.
8 Is this upcoming rates issue, are all of those factors
9 accounted for in your modeling as far as you know?

10 MR. WENG-GUTIERREZ: Yeah, to the -- well, they
11 are to a certain extent. I think, as somebody from the
12 PUC mentioned to me, it really is going to be important
13 to see near term, making sure that we get 2013 correct
14 so that the growth rate that we're observing is
15 appropriate over the timeframe. Right now, I've gotten
16 information from the utilities, for some of the
17 utilities, the estimated 2012 value which I grow from,
18 but I think that there are plenty of activities in rate
19 design right now that are coming up that we will have to
20 try and incorporate, you know, as best we can. So I'm
21 not going to say that they are incorporated because I
22 think there's a lot happening, but I think we're keeping
23 an eye on it and trying to incorporate them as we can.

24 COMMISSIONER MCALLISTER: And so you're
25 presumably holding hands with the PUC on this to make

1 sure that your sort of initial -- so that your
2 understanding of the dynamics, what might be coming up
3 so you can work that into your scenarios as actually
4 based on what is happening in that world?

5 MR. WENG-GUTIERREZ: Yes. I've tried to reach
6 out to them and keep them close to my ears so I
7 understand, yeah, what's occurring there, as well as
8 what recent activities have been adopted, and what rates
9 have been adopted so that it is reasonable.

10 COMMISSIONER MCALLISTER: Okay, great. So my
11 other question has to do with the photovoltaic
12 adoptions, or customer side PV, and it seems like it's
13 not only driven by sort of average rates, but it's
14 driven by rate design. And so I'm wondering how well
15 your sort of high, mid, low scenarios are going to
16 capture the dynamic of what is really going to influence
17 customer side, say, solar for example. Like you said,
18 there's a lot of rate design activity going on that is
19 going to outlast this IEPR. But I'm wondering if you've
20 thought about that in designing your scenarios and
21 picking your sort of gigawatt high, medium and low
22 scenarios.

23 MR. WENG-GUTIERREZ: So for the PV, again, what
24 I did was I used the outputs from the CED 2011.

25 COMMISSIONER MCALLISTER: Uh-huh.

1 MR. WENG-GUTIERREZ: So as you say, I mean, the
2 rates could have an impact on that and I haven't
3 necessarily discussed that with our staff who has done
4 that estimate to see how, you know, overall rates
5 increases my influence -- his outputs.

6 COMMISSIONER MCALLISTER: I'm thinking like
7 bundled rates present one view and the sort of average
8 cost per kilowatt hour kind of thing, but that really
9 belies a much more complex and kind of rich story of
10 like, okay, well, your top tier rate, if it's really
11 high then that's really going to drive PV adoption in,
12 say, the residential sector. So I think the two don't
13 necessarily go hand in hand here.

14 MR. WENG-GUTIERREZ: Right. And I -- although
15 this is the base electricity rate that's developed for
16 the inputs to the different models, I'm not sure how our
17 PV model handles those values and how he -- I know that
18 he is intimately knowledgeable of the tariff rates and
19 things that are associated with, you know, with the
20 adoption of PVs, I'm just -- I'm not sure how he handles
21 that. Maybe Chris wants to answer that question.

22 COMMISSIONER MCALLISTER: No, that's fine.
23 There's also the backdrop of the Governor's 12 GW
24 distributed resources goal and kind of -- so that's also
25 policy that we're trying to aim towards, and I just kind

1 of want to make sure that you're looking at all of those
2 things together.

3 MR. KAVALEC: Yeah, so a couple things. In our
4 predictive models for photovoltaics, those taken into
5 account not just average rates, but rate structure. And
6 on your comment on goals for PV, the way we look at it
7 is our job is to predict penetration, rather than assume
8 any goals are met, so I make that point.

9 CHAIRMAN WEISENMILLER: Yeah. Actually, just a
10 couple follow-up things while you're there, Chris. I
11 was just talking to Commissioner Florio on, obviously at
12 this point things that are potentially in play on net
13 metering and rate design, and certainly hopefully the
14 Energy Division staff involved in the DAWG (Demand
15 Analysis Working Group) on this also can help provide
16 some insight into the rate issues, the CSI issues, the
17 net metering, and the rate design questions. I guess
18 the net metering study is expected in May and the rate
19 design probably more fall. So there's going to be a
20 bunch of things that are going to be up in flux up until
21 the time that we adopt, I think. But certainly, just as
22 we're trying to have a pretty collaborative effort on
23 the energy efficiency side, that this will be one where
24 it will be very good to hook in the PUC staff.
25 Similarly on the overall rate issues, I know they've

1 done some analysis of what they're forecasting rates to
2 be going forward, so again it would be good to make sure
3 that is -- you know, again, we'd get the benefit of that
4 analysis in your thinking.

5 MR. WENG-GUTIERREZ: I actually have reached out
6 to the PUCs and I know that there's a report coming out
7 relatively soon looking at near term rate implications.
8 So, yeah, to the extent that we can incorporate it in
9 the timeframe of our Demand Forecast, I think we will do
10 that.

11 COMMISSIONER MCALLISTER: Is this E3 tool that
12 your output -- I think this is essentially two ways to
13 state the same output, right? It looks like slide 5,
14 maybe, and then the next to last slide where you've got
15 disaggregated gross percentages by utility?

16 MR. WENG-GUTIERREZ: Right, yes.

17 COMMISSIONER MCALLISTER: That's the same tools.

18 MR. WENG-GUTIERREZ: Exactly. So --

19 COMMISSIONER MCALLISTER: Could you describe
20 that tool? Is it something that the PUC also uses? Or
21 it's something that is --

22 MR. WENG-GUTIERREZ: Yes. So it was developed
23 for the PUC's activities by E3, so E3 was under contract
24 with the PUC to develop it for their activities. I
25 think the last version that was put out was October of

1 2010, I think, so it hasn't been updated in a little
2 while. There are other tools out there that are more --
3 that have been developed more recently but, again, to
4 the extent that we can use them to develop these rates,
5 I'm not sure. This certainly is a tool that allows us
6 -- that has been developed for the PUC -- that allows us
7 to get to these values and includes all the AB 32 kind
8 of Regulations.

9 COMMISSIONER MCALLISTER: Just to be clear,
10 these are 2010 dollars, so that's a real increase,
11 right?

12 MR. WENG-GUTIERREZ: Yes, these are real
13 increases, that's correct.

14 COMMISSIONER MCALLISTER: So I think we can go
15 to questions in the room and then on the phone.

16 MR. WENG-GUTIERREZ: So if there are any
17 questions in the room?

18 COMMISSIONER FLORIO: Just a couple questions.
19 On the CHP assumptions, is that new CHP, or is that the
20 sum of new and existing?

21 MR. WENG-GUTIERREZ: I believe this is the total
22 new CHP.

23 COMMISSIONER FLORIO: Total new, not including
24 existing?

25 MR. WENG-GUTIERREZ: Right. And I think that's

1 consistent, again, with what the AB 32 Scoping Order
2 said that they would have to be new CHP over that
3 timeframe, so these are all new CHP -- through 2024.

4 COMMISSIONER FLORIO: And PV on the earlier
5 page, is that statewide, or just Investor-Owned Utility?

6 MR. WENG-GUTIERREZ: This is statewide customer
7 side capacity, yes. This is statewide.

8 COMMISSIONER MCALLISTER: Again, this is also in
9 2020?

10 MR. WENG-GUTIERREZ: Actually, this is for 2020.

11 COMMISSIONER MCALLISTER: And this is cumulative
12 total? Or --

13 MR. WENG-GUTIERREZ: This could be -- I would
14 have to check to see whether or not this is -- this is
15 the value in that year, so it is cumulative total, yes.

16 COMMISSIONER MCALLISTER: Okay. So the highest
17 scenario you've got for the IEPR would be in 2020, you
18 said?

19 MR. WENG-GUTIERREZ: Yeah, these numbers are for
20 2020.

21 COMMISSIONER MCALLISTER: Okay, so 2,582 -- I'm
22 thinking that seems low, but I'd have to -- maybe we
23 should ask the world what it thinks and talk later. And
24 this is statewide, so we have IOUs with some and POUs
25 with some?

1 MR. WENG-GUTIERREZ: Yes.

2 COMMISSIONER MCALLISTER: Okay. It would be
3 good if you could sort of dig into that a little bit and
4 figure out where those numbers are coming from.

5 CHAIRMAN WEISENMILLER: Also, I don't know if
6 you have a sense of the breakout between IOU and POU?

7 MR. WENG-GUTIERREZ: I don't.

8 CHAIRMAN WEISENMILLER: Or ultimately, I assume
9 you've got a backup table that, when it's posted, people
10 can see?

11 MR. WENG-GUTIERREZ: Yes.

12 CHAIRMAN WEISENMILLER: That would be good.

13 COMMISSIONER MCALLISTER: Okay, I think we --

14 MR. WENG-GUTIERREZ: Comments from the room? Or
15 questions from the room?

16 MR. TUTT: Good afternoon. Tim Tutt from SMUD.
17 And, Malachi, I just wanted to follow-up a little bit on
18 the photovoltaic assumptions and that table. The first
19 thing is, I'm assuming that these are the actual
20 contribution to system peak estimates, rather than the
21 nameplate capacity of the PV?

22 MR. WENG-GUTIERREZ: It's installed.

23 MR. TUTT: Installed capacity.

24 MR. WENG-GUTIERREZ: Yeah, installed capacity.

25 MR. TUTT: Okay. And then the second question

1 is, you've been running this predictive model for a few
2 years now, do you have a sense of how it has worked in
3 comparison to the actual installed in the last few
4 years?

5 MR. WENG-GUTIERREZ: I had thought that, since
6 we were comfortable with the results that it was
7 performing well and that we were expanding our analysis
8 to commercial, but we do have staff that performs this
9 actual analysis that -- do you want to answer?

10 MR. GAUTAM: My name is Asish Gautam. I work on
11 the DG side for the Demand Analysis Office. As far as
12 the performance of the customer adoption model, it seems
13 to give reasonable adoption rates compared to the last
14 few years of the history, so...

15 MR. TUTT: Okay, thank you. And then, Malachi,
16 shifting to carbon price assumptions, it's my
17 understanding from the cap-and-trade regulations that
18 the price containment reserve tiers also escalate at
19 inflation plus five percent, and so I'm wondering if you
20 are reflecting that assumption -- well, if you're not
21 reflecting that assumption consciously, or is that just
22 something that slipped through the cracks?

23 MR. WENG-GUTIERREZ: Yeah, I have not -- I did
24 not increase that for that reserve tier. So that is
25 something I can do.

1 MR. TUTT: Okay. And then shifting to the rate
2 increases, you talk about rate increases from the E3
3 calculator and show SMUD having a fairly significant
4 rate increase projection out to 2024. Are you going to
5 provide detail from the E3 calculator as to where those
6 rate increases come from?

7 MR. WENG-GUTIERREZ: Sure. I can provide the
8 actual E3 calculator with the values that were input,
9 and then it should break it out how it generates that
10 increase, I'm sure.

11 MR. TUTT: All right, thank you. And then
12 lastly, on your last slide, electrification, I guess I'm
13 wondering two questions, one, what kind of
14 electrification comes from Bay Delta Conservation Plan?

15 MR. WENG-GUTIERREZ: Well, it would be water
16 pumping.

17 MR. TUTT: Okay. And then are you looking at
18 any other electrification in your forecasting, not just
19 from transportation or water pumping or high speed rail,
20 but fuel switching, for example -- of any sort?

21 MR. WENG-GUTIERREZ: These were the ones that we
22 planned on looking at, but if there are others, we'd
23 certainly be happy to look at them.

24 MR. TUTT: Okay, thank you.

25 MR. MEYERS: Richard Meyers with the California

1 PUC. On the slide that shows the percentage increases
2 for the electric rate, is that an average increase
3 across tiers? Or is it for any particular tier?

4 MR. WENG-GUTIERREZ: Right, so the GHG
5 Calculator doesn't calculate a specific tier, it's not
6 associated with specific tariff, so it's just the total
7 system-wide aggregate value.

8 MR. MEYERS: So if you assume that lower tier
9 electric rates are capped, these increases would be
10 achieved on the upper tiers, so the increases on the
11 upper tiers would be far greater than what you see here,
12 is that right?

13 MR. WENG-GUTIERREZ: Yes, right, as well as by
14 sector. So it could be borne differently by different
15 sectors, as well. So that's something that I indicated
16 I think I need to look at a little closer to really
17 understand how it's changing. Certainly for like cap-
18 and-trade regulations, there may be things that mitigate
19 the prices across certain sectors, so the costs might be
20 borne more so by other sectors, as well. So I
21 definitely know that there are differences across
22 sectors, as well as tariffs. So to the extent that we
23 can disaggregate that appropriately, we will.

24 MR. MEYERS: All right, thanks.

25 MR. WENG-GUTIERREZ: If there are no more

1 questions in the room -- oh, all right, no other
2 questions on the line? Okay, thank you.

3 MR. OLSON: Commissioners, my name is Tim Olson.
4 For the people in the audience here, I'm the Manager of
5 our Transportation Energy Office.

6 I'm going to do some overview stuff first, and
7 then we will invite Gerhard Achtelik from the Air
8 Resources Board to talk about this mandate, and then
9 Ryan Eggers will talk about our crude oil fuel price
10 forecast.

11 Transportation is not as advanced as electricity
12 and natural gas in the forecast work. We're not going
13 to go through the assumptions like the other groups
14 have; we're going to touch on where we are in the
15 process. For the most part, we're going to be in
16 probably the June timeframe to have the same discussion
17 like we're having today on electricity and natural gas.
18 But we are doing bi-weekly meetings with both of those
19 offices on how we're coordinating common assumptions,
20 and you'll see, as you see today, that there are cross-
21 overs from electricity and natural gas and the
22 transportation.

23 But just briefly, just to touch on how we
24 forecast California fuel demand, it really is we try to
25 figure out what the fuel consumption is, that's what

1 we're projecting into the future. For the most part,
2 that's been petroleum in the past, we want to know to
3 what extent other fuel sources, electricity, natural
4 gas, either biofuels, are also options.

5 And the approach we take, it's a heavily
6 dominated modeling work for the demand. We use things
7 like consumer choice surveys, data purchases, data
8 obtained from Caltrans, Federal DOT, Bureau of
9 Automotive Repairs, the Department of Motor Vehicles,
10 Board of Equalization, we're gathering information from
11 lots of sources. And because this is a very diverse --
12 as you can see on this slide -- diverse in terms of
13 vehicle sector. There are lots of different models. We
14 linked that together with a program we call Dynasym,
15 it's a broader model that tries to link all these demand
16 factors together. And, you know, just look at some of
17 these areas. Freight and Service alone, there are
18 several different categories -- long haul trucks,
19 package delivery, beverage delivery, refuse trucks,
20 utility bucket trucks, in addition to the urban and
21 inner city transit school buses, lots of different
22 things to keep track of. It's very difficult to get all
23 that data and get it currently. Some of the models have
24 different eras, too, some of them are fairly new, some
25 are 20-30 years old. So we're constantly doing

1 validation to see how accurate we are.

2 We couple this demand work with what we call
3 Vehicle Attribute Analysis, and that's typically a
4 contractor; we're about to hire Sierra Research here to
5 help us on that, identify some of the factors related to
6 vehicle model performance, characteristics that are used
7 to help in this demand. And so I think, you know,
8 that's kind of the significant effort that's going on
9 with lots of models, lots of staff.

10 To give you kind of a glimpse of the other
11 elements of this analysis, I'm going to just kind of
12 quickly go through this again. We're looking at June,
13 July, and August when we're going to have this work
14 done. And you're going to hear later from Ryan about
15 the fuel price -- petroleum fuel price forecast, and
16 that's kind of the initial forecast that we're using.
17 We go through a couple iterations of that.

18 We will also do this what we call Developed
19 Supply Demand Balance. We get information from lots of
20 different sources, it's really an assessment of supply
21 outlook, lots of different sources -- oil companies from
22 our PIIRA database, some subscription data that we buy,
23 and of course we've got to have the demand information
24 here to complete all that work. And that's, again,
25 later this spring, early summer. In addition, part of

1 that work is we're evaluating the impact on energy
2 infrastructure, primarily petroleum, oil refineries,
3 pipelines. So that's kind of -- those are elements
4 coming up in the near future.

5 In addition to that, we are going to spend a lot
6 more time this year on what we call developing
7 alternative fuel scenarios, and there's a lot of work
8 underway to combine staff and in hiring contractors, and
9 interactions with several agencies.

10 December 2011, our Executive Director, Rob
11 Oglesby, at the ARB Board Meeting in December of 2011,
12 agreed that the CEC would work cooperatively with the
13 ARB and other agencies to jointly develop these
14 alternative fuel scenarios, going into the future. And
15 I can touch on some of that work. And since then, we've
16 had some pretty significant trends occur that many of us
17 are aware of, Federal incentives declined, some of them
18 have come back, and the Fiscal Cliff Bill. We've had
19 some pretty significant progress on our AB 118 incentive
20 programs, same thing with the ARB's element of that.

21 We've seen some new things happen on
22 regulations, or maybe the maturing of the regulations,
23 the Low Carbon Fuel Standard, Cap-and-Trade, Clean Fuels
24 Outlet, RFS2, and the National Ambient Air Quality
25 Standards, these are regulations, they're factors that

1 are going to affect California right away, right now,
2 and up to the National Ambient Air Quality Standards,
3 significant criteria pollutant reduction required in
4 2023, particularly affect the South Coast Air Quality
5 Management District and San Joaquin.

6 And I'd like to just kind of go through a couple
7 of examples of what we're doing in these areas. So for
8 example, with our scenarios, we're definitely going to
9 look at what we described here as a crude oil price
10 forecast, very similar to the natural gas and
11 electricity -- a high/low and a reference case. We're
12 looking at milestone years of 2015, 2017, 2020, and
13 after 2020. And a lot of that has to do with some
14 regulations in the near term, 2015 a lot of things in
15 the marketplace change, or pretty much government
16 intervention could change. For example, incentive funds
17 expire in 2015, there are lots of effort underway to
18 extend those. Some of the Federal tax credits and like
19 the biodiesel credit, lender credit, expires in 2015.
20 LCFS work looks like there's some -- that's when we're
21 expecting to see maybe issues with compliance or ability
22 of credits to be available in that timeframe. And
23 that's when the oil refineries are targeted, and their
24 first year of kind of targeting is 2015 under the Cap-
25 and-Trade Regulations. And so we want to look at 2015,

1 even though it's a short period of time, what's going to
2 happen from here until then, and then 2017 is something
3 the ARB asks us to look at. Related to -- if you
4 remember in the Low Carbon Fuel Standard, five percent
5 of that 10 percent carbon intensity comes in the first
6 seven years, and then the other five percent of the 10
7 percent comes in the last three years, so 2017 will be a
8 key point for that.

9 We've engaged several outside parties in this
10 process, last week meeting with ARB's Deputy Executive
11 Officer to go over how that interaction occurs on the
12 Low Carbon Fuel Standard and the ZEV mandate and climate
13 change activities. We have ongoing interactions with
14 U.S. DOE, U.S. EPA Region 9, Washington, D.C. EPA, and
15 RFS2, and the Michigan Regional Office for EPA, that's
16 where a lot of the electric vehicle research occurs. Of
17 course, California Public Utilities Commission related
18 to electric vehicles primarily, Nancy Ryan and Adam
19 Langdon; CAISO, Heather Sanders there is directing the
20 Vehicle to Grid work; and of course the Governor's
21 Office has asked us to, as part of the Governor's Zero
22 Emission Vehicle Executive Order, to update the forecast
23 on electric vehicle, ARB, CEC, and the other members of
24 that Executive Order.

25 We are coupling that with other studies that are

1 going on. David Green's analysis, *2050 Vision for Zero*
2 *Emission Vehicles*, should be out, that's funded by ICCT,
3 that's Alan Lloyd's new NGO organization. Quite a few
4 other studies -- E3, other groups that we're drawing
5 upon in terms of forecasts. Some of them are related to
6 just one type of vehicle, some of them are broader.

7 We also are coupling that with very significant
8 interview data gathering process with several companies,
9 some whom have received money from the Energy Commission
10 under the AB 118 Program, but many that have not, but
11 are willing to share their information on, for example,
12 with biofuels, when are the projects going to be on the
13 ground, what's the magnitude of their development and
14 production. We're asking questions about how they are
15 financing the projects. We're trying to find -- get
16 more reality on when these projects are contributing
17 something to these overall public policy goals, whether
18 it's the Low Carbon Fuel Standard, AB 32, petroleum
19 displacement, the whole host of Bioenergy Action Plan,
20 all those different kinds of policies, we're trying to
21 do this work to sum up where these alternative fuels are
22 in those timeframes that I talked about.

23 And maybe to give you an illustration of that,
24 about three weeks ago a group of us met with kind of a
25 small sub industry of the biodiesel industry, and this

1 is the Yellow Grease/Brown Grease/Tallow people; we
2 think this is probably the early market and there's two
3 projects that are operating in California, we met with
4 them individually and, as a group, found out that
5 there's an optimum size of that plant, there's a
6 business model that's been developed, there's still some
7 deployment challenges. We think there's a number we can
8 bank on there in terms of what will be contributed from
9 that sector and how that business works with its supply
10 chain, in this case restaurants, rendering plants, and
11 the whole host of vehicle fleet people that are in
12 essence kind of lining up with that industry.

13 We're expecting to do some of the same kind of
14 work in several other biofuel areas and, of course, with
15 electric vehicle hydrogen, natural gas. Let me just
16 mention, on hydrogen, because we are part of the
17 California Fuel Cell Partnership and spent a lot of time
18 on that Hydrogen Roadmap, that's a central part of the
19 scenario for that fuel. There are other studies that
20 the Energy Commission was a participant in, or have
21 reviewed, National Petroleum Council, NRC studies, of
22 course we've got the ZEV mandate scenarios, commitments
23 from automakers through the ARB program for hydrogen and
24 also electric vehicles.

25 The extension -- reauthorization of AB 118 has a

1 relationship to the Clean Fuels Outlet. We are looking
2 at all these different factors. And then we're also
3 coupling this hydrogen work with interviews with
4 automakers and infrastructure companies, again looking
5 at how to verify when they're going to have, in the case
6 of automakers, where they're going to sell their
7 vehicles, or lease them, when that occurs, and what
8 numbers, basically kind of doing a match-up to previous
9 forecasts. And I'm glad that Malachi went through that
10 slide on the kind of electrification. There's a large
11 part of transportation on that, but just to give you --
12 I think I mentioned the ZEV mandate commitments are a
13 key part of that from now to 2020, and then 2025,
14 different scenario projects are underway. We will be
15 working with the Governor's Executive Order team on
16 updating that electric vehicle scenario, and have agreed
17 with ARB, CEC and ARB, doing joint interviews with
18 automakers so that automakers are not over-surveyed on
19 any of these areas. Nancy Ryan, PUC are also part of
20 that, she's interested in the electric vehicle aspect.
21 And of course, we're also drawing on the Plug-In Vehicle
22 Collaborative, the 38-member group. And I also want to
23 mention that our interviews will also include utilities
24 in that process through Cal ECT.

25 And also, the way we're handling the items that

1 Malachi raised, meetings with the High Speed Rail
2 Commission, Ports of L.A. and Long Beach, primarily, and
3 several fleet associations regarding APU's, Auxiliary
4 Power Units on trucks, and the truck refrigeration unit,
5 we think that could be a significant transfer to
6 electricity.

7 I mentioned the biofuels. In essence, I'll give
8 you a feel for the kind of questions we're asking and
9 then I'll just pretty much go to this last slide. But
10 in essence, we want to know the technology fuel
11 commercial status. We want to know the size of the
12 projects, if it's a fuel production, how much you're
13 producing and when. We want to know project locations,
14 potential replications. We want to know -- we're asking
15 a lot of questions about business models, we're asking
16 questions about how they're going to compete in a
17 marketplace with the price maker at that point in time.
18 We're looking at asking questions about deployment
19 challenges. And we're also asking questions about what
20 kind of research and development has to occur.

21 So here's the other point of this, this work is
22 pretty much a horizontal activity throughout this
23 agency, our Transportation Energy Office, our Emerging
24 Fuels and Transportation Office, the R&D Division, to
25 the extent that there's any kind of interaction with

1 power development, the Renewable Energy Office for the
2 most part, and of course our scenarios are shared and
3 agreed to between the Energy, the Electricity and
4 Natural Gas Offices, and our Transportation. And it's
5 horizontal to the extent that it also goes outside our
6 boundary of our agency to other agencies.

7 And then the schedule we're looking at here is
8 pretty much between now and July is when we are doing
9 most of this work on the supply demand balance, the
10 scenarios, and expect to have I think at the end of June
11 the workshop there, we will go through the demand
12 forecast assumptions and then, by August, have this work
13 done. And that's kind of where we are in this.

14 COMMISSIONER MCALLISTER: Great. Thanks a lot,
15 Tim. I'm really looking forward to hearing how those
16 conversations with the grease and tallow people go. No,
17 but seriously I think your overview is good, the plan is
18 good, obviously a lot of the devil is going to be in the
19 details down the road, so how your modeling process and
20 tools shape up, I think, is something we obviously will
21 talk about at the opportune time.

22 I guess on specific question, I'm wondering, are
23 you going to be using that information, your survey
24 work, and asking about the business models and the
25 challenges, the R&D needs, trying to get at numbers and

1 dollars of investment need for different aspects of the
2 infrastructure that's required? You know, the
3 electricity maybe gets a little over in the electric
4 sector, but for biofuels and other fueling
5 infrastructure, it seems like a pertinent question we
6 would want to try to shed some light on.

7 MR. OLSON: Yes, that's one of the key outcomes,
8 is what kind of investment is required, and there's a
9 spinoff of that, so in these meetings I'm bringing staff
10 from our Emerging Fuels Office that manage the
11 investment fund there, and we're basically posing this
12 question to what extent are government incentives and
13 what mechanism of that incentive are needed and in any
14 of that total investment needed. And that's what we
15 found with that biodiesel group, that within three years
16 that whole thing shifted. It used to be we need storage
17 and blending terminals, now it's a feedstock assurance
18 issue, and in that case it's almost like the fuels are
19 basically -- the prices are set and dictated basically
20 on an almost daily or weekly basis. It's difficult to
21 take that to the bank for any kind of project financing,
22 that's a deployment challenge that needs to be
23 addressed, but we think there's something there because
24 you look at some of the other parts of the biofuel
25 industry and that's what's happened -- three-year, five-

1 year, seven-year fuel contracts for the feedstock, and
2 there's a potential for that to happen. But we
3 definitely want to know, you know, if this is a \$100
4 million investment, how does that happen?

5 COMMISSIONER MCALLISTER: I guess I would say
6 the flip side of that also is, you know, some of these
7 feedstocks you might, you know, with tallow, for
8 example, you know, maybe there's a finite amount of
9 tallow in the state, and once you've kind of got all
10 that supply locked up, what does it look like going
11 forward? You're not going to have sort of more
12 slaughterhouses to supply us for biofuels. So I think
13 understanding the limits, sort of the scale and the
14 limits in scale on some of these specific feedstock
15 issues is really important for us to understand the
16 whole.

17 MR. OLSON: In that example, it's based on
18 population, so much gallons of brown grease and yellow
19 grease per person, per year. And you're right, there is
20 a limit and we think that right now that's about 100
21 million gallons which -- and it looks like the optimum
22 size plant, it may be 10 million gallons per year, so
23 that's 10 plants; there are two right now.

24 COMMISSIONER MCALLISTER: Okay, great. I'm
25 really looking forward to that work. Thanks.

1 MS. KOROSSEC: Do we have any questions from the
2 audience? All right, we have no questions online, so I
3 think we'll move on here.

4 Our next speaker is Gerhard Achtelik from the
5 ARB.

6 MR. ACHELNIK: Thank you. Thank you for
7 inviting me here. I'm filling in for Analisa Bevan and
8 I'll be giving you an overview of the Zero Emission
9 Vehicle Regulation.

10 Almost a year ago, or just over a year ago, the
11 Board adopted a comprehensive package of regulations
12 that was intended to ensure that the cleanest vehicles
13 would be available for the consumer. And that included
14 the Low Emission Vehicle Program, which is your standard
15 internal combustion vehicles; the Zero Emission Vehicle
16 Program, which is the Zero Emission Vehicles which today
17 includes the hybrids and the plug-ins and fuel cells and
18 battery only vehicles; and the Clean Fuels Outlet
19 Program, which is intended to ensure that the
20 infrastructure is in place once the vehicles are here.

21 This is I think a pretty well-known graph. It's
22 a modeling scenario that came out in 2009, and it
23 represents one way of getting to our target of reaching
24 an 80 percent reduction in greenhouse gases by 2050.

25 And one of the things that has to happen in order to

1 achieve that is that, by 2050, the majority of our fleet
2 has to -- our light-duty fleet has to be zero emission,
3 electric drive or zero emission. And by 2040, the
4 majority of the light-duty vehicles that are offered for
5 sale have to be Zero Emission Vehicles. And that's
6 based on the half life of a vehicle that today, what we
7 say a half life of a vehicle is 15 years, that means if
8 you buy a car today, half the cars that we buy today
9 will still be around 15 years from now, so we have quite
10 a challenge to meet a complete turnover of vehicles by
11 2050.

12 And what is the Zero Emission Vehicle
13 Regulation? It represents a combination of battery
14 electric vehicles and Fuel Cell Vehicles, but it also
15 represents technology development vehicles, the plug-in
16 electric Hybrid Vehicles, the conventional hybrids, and
17 the clean gasoline vehicles. And those bottom two, the
18 conventional hybrid like your Toyota Prius, or Honda
19 Civic, the Ford vehicle, those are available today
20 already. Also clean gasoline vehicles, those are called
21 in the regulatory terms, those are Partial Zero Emission
22 Vehicles, those are available today, and the PZEVs
23 especially represent a large portion of the fleet, and
24 they run anywhere from something like a Ford Focus to
25 BMW3 Series, they're in a variety of cars. And those

1 bottom two cars will only stay in the Zero Emission
2 Vehicle Regulation through 2017. After that point, all
3 the cars that qualify for the program have to have an
4 electric drive component.

5 And the ZEV Regulation, although it was
6 developed in 1990, it has changed a number of times, it
7 has been very successful. We have over 10,000 battery
8 electric vehicles, and that 10,000 number hopefully
9 sounds small to all of you, and it is, because it's
10 based on our 2011 compliance inventory. The automobile
11 manufacturers have until May of this year to give us how
12 they comply for 2012, so we're just giving you the 2011
13 numbers. These are the numbers that we know as a fact
14 how they have complied in 2011. So there have been a
15 number of Fuel Cell Vehicles, a number of plug-ins, over
16 450 conventional hybrids since they first started
17 rolling out in 1999, and over two million Partial Zero
18 Emission Vehicles. Those provided tremendous health
19 benefits to the residents of our state.

20 How did we change the regulation a year ago,
21 back in 2012? What you can see here on this graph is
22 that, by 2025, 15.4 percent of the vehicles offered will
23 have to be either a pure ZEV, or a Plug-In Hybrid. And
24 compared to where we were before, you can see at the
25 bottom of the chart around 40,000 and 50,000 vehicles,

1 that's where the regulation stood before. So there was
2 a tremendous increase in the number of Zero Emission
3 Vehicles that the automobile manufacturers are required
4 to bring, and that's intended to help ensure a
5 commercial market, part in order to get cost reductions
6 we need to have the number of vehicles. And it's also
7 based on where we saw the technology going and the
8 advances that were being made.

9 This is a possible compliance scenario that
10 through 2025, we expect a predominance of the Zero
11 Emission Vehicles to be plug-ins, something like a Volt,
12 or more BEVs, and then some fuel cells. Now, these
13 numbers here represent a minimum compliance scenario,
14 these are not what the automobile manufacturer could
15 comply with, they could actually produce more cars, and
16 the Air Resources Board and the Energy Commission have
17 conducted surveys of the OEMs for Fuel Cell Vehicles
18 based in part to make infrastructure projections, and
19 the initial projections for those are certainly higher
20 for the 2017 timeframe, but these are a minimum number
21 of vehicles that are required to meet the regulation
22 based on historical roll-out of vehicles.

23 This gives you roughly the ratio that roughly 30
24 percent of the Zero Emission Vehicles are Fuel Cells and
25 70 BEVs through 2025, and we do see after 2025 a

1 transition happening where an ever-increasing share of
2 the Zero Emission Vehicles will be Fuel Cell Vehicles.

3 This graph represents the plug-ins, so if you're
4 looking at the Electric Vehicle charging needs, this is
5 an annual sale of plug-in vehicles, or, in this case, I
6 mean both the Hybrid Vehicles and the Battery Electric
7 Vehicles. And by 2025, over 1.4, roughly 1.5 million
8 Battery Electric or Plug-In Electric Vehicles will be on
9 the roads in California.

10 And like I said, earlier the numbers were based
11 -- the ZEV Regulation was strengthened in part, you
12 know, for a number of reasons, 1) to meet our Ambient
13 Air Quality Standards, and another, to meet our
14 Greenhouse Gas Reduction Quality Standards, and because
15 we saw the technology cost reducing, but as the
16 production increases, historically it's proven and the
17 forecasts say that the costs of the cars go down, so as
18 volume goes up, production cost decreases.

19 One of the major changes that happened last year
20 was that the intermediate vehicle manufacturers were
21 also made part of the ZEV requirement; the original six
22 were Chrysler, Ford, GM, Honda, Nissan, and Toyota, and
23 then a year ago, starting in 2018, BMW, Hyundai, and the
24 rest that are listed here, will also have to come out
25 with a Pure ZEV Program. And what is left of the four

1 independent volume manufacturers, Jaguar, Rover,
2 Mitsubishi, Subaru, and Volvo, they will be able to
3 comply strictly with the Plug-In Hybrid, but they could
4 also develop a Zero Emission Vehicle.

5 So the numbers increase because the vehicle
6 regulation has become stricter, a higher number or
7 percentage of the fleet has to be zero, but they also
8 increase because more automobile manufacturers are
9 required to deliver Zero Emission Vehicles.

10 And then why are we doing this? You know, we're
11 looking to transform the fleet. We need to reduce
12 greenhouse gas emissions, and we also need to reduce the
13 smog emission or criteria pollutant emissions. The name
14 comes from initially the criteria pollutants, and
15 probably all of you know this, but they have Ambient Air
16 Monitoring Standards, and so the reason we reduce
17 emissions from vehicles is to ensure that we can meet
18 the Ambient Air Quality Standards.

19 So by 2025, we expect the ZEV technology to be
20 commonplace with multiple choices, and that's part of
21 how the consumer will adopt this, as having many
22 platforms to choose from. And we need to have the
23 infrastructure in place, either through the Clean Fuels
24 Outlet Regulation, or through programs like AB 118.

25 That's the end of my presentation. Do you have

1 questions?

2 COMMISSIONER MCALLISTER: So thanks very much
3 for that. I really appreciate your being here. And the
4 cross agency work, I think, is really pivotal and
5 essential for making sure that our foundational work
6 here in the IEPR, in the forecasting is in place for
7 everybody to be able to use, and also just building the
8 team that we need to make all this happen going forward.
9 I mean, your last couple slides of 2025, you know, we
10 have 2018 that we're hopeful the marketplace is going to
11 have product out there, and 2025, we really have to be
12 able to look back and show that we've accomplished a
13 lot. So I think that's important.

14 I do have a question about your slide 8. I'm
15 just -- I'm not sure I'm understanding what we're
16 looking at there.

17 MR. ACHTELIK: This one?

18 COMMISSIONER MCALLISTER: Yeah, that one right
19 there.

20 MR. ACHTELIK: That's just --

21 COMMISSIONER MCALLISTER: So you've got 2012
22 and 2013 there with, you know, 30 percent Fuel Cell
23 Vehicles, and I'm wondering what the metric is there on
24 the -- is that just numbers of cars? Or what is that?

25 MR. ACHTELIK: These are numbers of cars and it

1 is reflective of the ratio of Fuel Cells versus Battery
2 Electrics. In the near term, because of a combination
3 of credits and costs, you know, the more the automobile
4 manufacturers put in fuel cells --

5 COMMISSIONER MCALLISTER: Okay.

6 MR. ACHTELIK: -- and then right now all the
7 cost of the Battery Electrics are lower compared to the
8 Fuel Cell, so more of them are producing numbers. And
9 as the ratio changes between cost and -- because the
10 Zero Emission Vehicle Regulation, we talk about it in
11 terms of number of vehicles, it's actually in terms of
12 credits, of emissions reductions. So as that value
13 changes, it encourages production of one over another.
14 So the changes are due to that.

15 COMMISSIONER MCALLISTER: Okay. So, but this is
16 -- the 2012, 30 percent, that's a requirement?

17 MR. ACHTELIK: That's just an actual ratio, it's
18 not a requirement, it's an actual ratio of how
19 manufacturers complied. They could have complied with
20 only BEVs, or they could have complied with only Fuel
21 Cell Electric Vehicles.

22 COMMISSIONER MCALLISTER: Okay, so 30 percent of
23 the ZEV fleet is actually Fuel Cell Vehicles right now?

24 MR. ACHTELIK: In 2012, yeah. So there were --
25 so if we said -- in terms of the credits, yeah.

1 COMMISSIONER MCALLISTER: Oh, okay, okay. I
2 gotcha. I'll ask our Transportation staff to sort of
3 pick that one apart for me.

4 MR. ACHTELIK: Okay.

5 COMMISSIONER MCALLISTER: So, thanks very much.
6 Is there any -- Commissioner Florio, any questions?

7 MS. KOROSSEC: Questions from anyone in the room?
8 All right, we do have one question that's online, it's
9 from Spencer Richley. Spencer, your line is open.
10 Spencer, are you there?

11 MR. RICHLEY: Hello?

12 MS. KOROSSEC: We can't hear you very well.
13 Spencer, can you speak louder or closer to the phone?
14 We can't hear you. All right, I think we're unable to
15 get Mr. Richley, so if you can email us your question,
16 we'll make sure to pass that along.

17 Next, we have Ryan Eggers.

18 MR. EGGERS: Good afternoon, Commissioners. My
19 name is Ryan Eggers. I'm an Energy Commission
20 Specialist within the Transportation Energy Office, and
21 I'm here to present the Preliminary Refiner Acquisition
22 Cost Cases in order to support the 2013 IEPR.

23 My presentation is planning on hitting on two
24 specific topics, first being what are some of the
25 current and historic trends in long-term crude oil

1 pricing; second, I will move into what are going to be
2 the actual preliminary cases for refiner acquisition
3 costs for crude oil.

4 So why do we care about crude oil prices so
5 much? Well, first they form a big part of what the
6 final retail price of gasoline is going to be. And for
7 many Americans, gasoline still forms a fairly non-
8 substitutable portion of people's travel needs here in
9 the United States.

10 What you're seeing here with the green bars is
11 the percent of income that on average Americans spend on
12 gasoline, from 1983 to 2011. The red bar is what the
13 average of expenditures on gasoline as a portion of
14 income has been for the entire time period, which is
15 roughly 2.4 percent. And what we're seeing here is, for
16 the most part, is what one would expect, is as gasoline
17 prices rise and fall, the amount of money that needs to
18 be spent on gasoline in order to meet those basic travel
19 needs also rises and falls.

20 In the early 1983 era, we were up to as much as
21 four percent of total GDP was spent on gasoline, and as
22 we moved into the '90s, as gasoline prices fell, we got
23 to as low as roughly 1.5 percent of GDP. Finally, as we
24 moved into 2000 and into 2008, with the increase in
25 gasoline prices, also the expenditures on gasoline also

1 rose. But what is interesting as part of this
2 particular graph is, even though gasoline prices rose to
3 levels that, you know, are as high as we've ever seen
4 here in the United States, the amount of income that
5 Americans were spending on gasoline still did not reach
6 to the same levels that it was in the early 1980's, and
7 there's a couple of reasons for this, the first being
8 obviously the increased CAFE standards, which has helped
9 improve fleet fuel economy for not only California, but
10 for the nation as a whole; also with some of the
11 financial difficulties that started in 2008 for our
12 economy, we have seen an increase in the unemployment
13 rate, which has the unfortunate effect of decreasing
14 average VMT as less people need to commute to work.

15 So what are some of the factors in crude oil
16 prices? Well, the first being world supply and demand
17 fundamentals, this is the classic Econ story of where
18 more supply relative to a certain demand level tends to
19 decrease prices. Also, as there's more demand relative
20 to a certain supply level, that tends to increase prices
21 or put an upward pressure on prices.

22 Since this is a world traded commodity, exchange
23 rates also influence this dynamic with the weakening of
24 the dollar, worsening the purchasing power of that
25 dollar, thus more dollars are needed in order to buy

1 that particular barrel of oil. Conversely, as the
2 dollar becomes stronger, less dollars are needed in
3 order to purchase that particular barrel of oil.

4 Rising production costs also influences the
5 final price of crude oil since, you know, crude oil is a
6 finite commodity, as it becomes more difficult in order
7 to produce crude oil, production costs tend to rise, and
8 thus those production costs need to be passed on in some
9 way, shape, or form because crude oil companies are in
10 the business to make money. They're not going to take a
11 loss on any of this.

12 Economic growth is also an influence on crude
13 oil prices, normally by stimulating demand, thus putting
14 an upward pressure on prices. Increased price
15 speculation activities also influences this dynamic.
16 While I can't tell you its exact influence or, you know,
17 how much it adds to the price of crude oil, it is pretty
18 safe to say that it does have some sort of positive
19 monetary effect on the final price of crude oil.

20 Political unrest is the final thing I would like
21 to point out. This often embodies itself as some sort
22 of supply disruption within the crude oil production
23 chain, thus lowering supply relative to demand and
24 putting an upward pressure on prices.

25 So looking a little bit more closely at supply

1 and demand fundamentals within the world crude oil
2 market, shown here in the green line is the price of
3 crude oil at the world level. Also shown is the
4 difference between world consumption and world
5 production. These red bars are time periods where the
6 actual consumption of crude oil is outpacing production.
7 And as one would suspect, when we see a long run of
8 these red bars, we also see a corresponding increase in
9 prices. Also on the flip side, when we see production
10 outpacing consumption, and these would be the black
11 bars, we see a downward pressure on prices, and prices
12 tending to fall during this time period. That being
13 said, this is not the only influence on crude oil
14 prices. And as you can see, for the most part, given a
15 run of red bars it not always has the same sort of
16 influence on crude oil prices. One of those other
17 factors would be the value of the dollar shown here by
18 the blue line, specifically here, this is the exchange
19 rate between dollars and Euros. And as this blue line
20 increases, the purchasing power of the dollar worsens,
21 and thus you need more dollars in order to buy a
22 particular barrel of oil.

23 Notice between 2000 and 2008 where we have one
24 of our more prolonged acceleration of increases in crude
25 oil prices, we have both a long run of red bars where

1 consumption is outpacing production, also a weakening of
2 the dollar throughout that time period. And it's these
3 two factors interacting with each other which is likely
4 one of the reasons why crude oil prices rose so quickly
5 during that particular time period.

6 So the end game for the Transportation Energy
7 Office is actually to come up with transportation fuel
8 prices for California specifically, which the crude oil
9 price helps inform. But we do have some challenges in
10 developing these fuel prices, the first obviously seen
11 in the previous graphs, is just the general volatility
12 of the crude oil market, for several reasons. One of
13 them that tends to get on the news the most are
14 unforeseen national political unrest. We also see some
15 price volatility in local markets with unplanned
16 refinery outages, sometimes adding to the premium for
17 local retail gasoline or diesel.

18 The real elephant in the room for the
19 Transportation Energy Office is we have no in-house
20 integrated world energy or crude oil equilibrium model
21 in order to project crude oil prices into the future, so
22 we do need to come up with some solution to tackle that
23 particular problem.

24 Also, as part of the changing transportation
25 scene, we do make forecasts on alternative and renewable

1 fuels -- which my office manager got into -- but there
2 is very limited data on many of these transportation
3 fuels to no data at all.

4 Finally, we do have a very long term projection
5 horizon and, as part of this 2013 IEPR, the
6 Transportation Energy Office does plan on doing their
7 forecasts out to 2050 to match some of the work that the
8 ARB is doing with their 2050 Vision.

9 So in order to solve some of these problems,
10 well, we in the Transportation Energy Office tend to use
11 somebody else's crude oil projection in order to have
12 some sort of basis to create local California specific
13 transportation fuel price forecasts. And in order to do
14 that, we take a look at all the world leaders, or the
15 leading organizations in crude oil price forecasting,
16 specifically the EIA, IEA, and there are several others,
17 and we look at these different prices to kind of get a
18 general trajectory of where the industry as a whole sees
19 crude oil prices moving forward. Also as part of that,
20 we look at their supply and demand forecasts because
21 there does need to be some sort of relationship between
22 local production of crude oil here in California, as
23 well to the world market, in order to do our own in-
24 house analysis of crude oil. We also do some linear
25 trend analysis of historic refiner acquisition cost

1 data, in order to establish some general trends on where
2 the trajectory of crude oil prices are heading, in order
3 to get a reference of where we would expect crude oil
4 prices to be in the near future, or even the long term.

5 And finally, we're always soliciting advice from
6 workshop participants and anybody in the public
7 regarding these crude oil price trajectories.

8 Now, I've always referred to the crude oil price
9 in this presentation as the Refiner Acquisition Cost,
10 which is kind of the averaging of all these different
11 crude oil spot prices, and one of the reasons we do that
12 is, instead of using a particular crude oil spot price,
13 while all these crude oils tend to have their own orbit
14 in relation to each other based on quality and sulfur
15 content, sometimes local supply and demand sort of
16 situations kind of knock them out of their orbit, and if
17 we used one specific crude oil spot price, we could
18 imbed some of those dynamics within our forecast. The
19 most recent example of that would be the WTI, which in
20 2009 and 2010 happened to be a blend that was priced in
21 between the Kern River price and the Brent price. But
22 as more production came online, specifically in the
23 Bakken in Canada, and was flooded into the Cushing,
24 Oklahoma hub, this price was depressed. And if we use
25 that particular benchmark in order to do our

1 forecasting, we would have that local supply and demand
2 dynamic imbedded with our forecast. And since
3 California doesn't use WTI, it would pollute our
4 forecast moving forward. So instead, we basically use
5 the average of all these crude oil spot prices that
6 basically refiners take in, in order to do our crude oil
7 projections.

8 So here they are. Here are the Preliminary 2013
9 IEPR Refiner Acquisition Cost Cases. The dotted lines
10 would be the nominal price projections, with the solid
11 lines being the inflation adjusted price projections.
12 And what we see here in our high price/low consumption
13 price case, we have prices increasing from roughly about
14 \$100 a barrel of oil up to \$300 a barrel of oil by 2050.

15 In the reference case, which is the green solid
16 line for inflation adjusted 2012 dollars, we have \$100
17 barrel oil increasing to roughly \$200 a barrel of oil in
18 2050. And in the low case, we have the \$100 barrel of
19 oil falling to roughly about \$70.00 in 2012 dollars into
20 2050. All three of these lines come from the early
21 release of the EIA, Annual Energy Outlook, and we plan
22 on, when they finally develop their final high and low,
23 to adopt those as our price cases for refiner
24 acquisition costs, moving forward with our forecasting
25 activities.

1 Now, the prices I just quoted are inflation
2 adjusted prices, and these are not going to be the
3 prices that are actually probably going to be quoted by
4 the Press, or even seen at any given time point moving
5 forward in the future; instead, inflation often infects
6 this sort of dynamic. And using the same CPI or
7 inflation estimate that the EIA used in its reference
8 case, the actual nominal price for refiner acquisition
9 cost in 2050, in our high price case, is going to be
10 well above \$800 a barrel of oil. In the reference case,
11 it's going to be just under \$600 a barrel, or roughly
12 about \$550, and while it was a static inflation adjusted
13 price in the low price case, in nominal dollars that
14 will be an increasing price up to above \$200 a barrel of
15 oil for crude oil.

16 Now, there's always certain production forecasts
17 that need to be made when looking at crude oil pricing.
18 Here is the EIA reference case projection for U.S.
19 domestic crude oil, and one of the interesting things to
20 see here is there is a very stark increase in local or
21 domestic crude oil production that's being forecasted by
22 the EIA. And this extra production is coming mainly in
23 the form of tight oil, or shale plays, these particular
24 production seems to be localized to both the Bakken and
25 Eagle Ford supply areas, so this is a projection that

1 does not include any sort of California production from
2 our shale plays here in California, this would be
3 specifically from other locations. But it's really the
4 world supply or production projection that really sort
5 of matters when making these price projections because
6 this is a world commodity. And as we see here, most of
7 this extra production -- and we do see an increase in
8 production within the reference case of the EIA -- most
9 of this extra production is coming mainly from OPEC and
10 from non-OECD countries like Russia, as part of picking
11 up the slack for the decreasing OECD petroleum
12 production.

13 As I mentioned earlier, we do take a look at
14 other price projections by industry leaders, shown here
15 by mainly the lines with the actual marks on them. I
16 apologize for how cluttered this particular graph is,
17 but basically what is demonstrated here is that all the
18 other industry leaders for crude oil price projections
19 are all roughly in the same sort of neighborhood of
20 these three price projections, and they are mostly
21 clumped around the reference line, with a few of them
22 being below that. What is kind of interesting is the
23 yellow line at the very very top, and the bottom line at
24 the blue, which were the price projections from the EIA,
25 from the last 2012 cycle, basically it looks like the

1 EIA has sort of narrowed their bands for high and low as
2 far as price projections for the upcoming 2013 Annual
3 Energy Outlook.

4 I'm also often asked by Commissioners to sort of
5 give a review of how these price projections have fared
6 over the last previous IEPR cycles, which is being
7 displayed here. What you're seeing here is the 2009,
8 2011, and now the 2013 IEPR Refiner Acquisition Cost
9 Cases. I do need to make a disclaimer for this
10 particular graph. Both EIA and the Energy Commission
11 only make annual price forecasts for crude oil; what
12 you're seeing here is an attempt to turn those
13 particular annual forecasts into a monthly forecast.
14 And so what we're seeing here is the actual Refiner
15 Acquisition Cost, which is the blue line with the
16 triangles. In 2009, for the most part, the annual
17 Refiner Acquisition Cost stayed on the high end of our
18 particular band. When we smush these back into actual
19 yearly averages, basically that actual average Refiner
20 Acquisition Cost Case sort of falls a little bit within
21 that band. But as you can see here, for the most part,
22 it did follow the top of that band, then fell back down.
23 Because of that, we did shift our band upward in the
24 2011 forecast, and for the most part it did stay within
25 that particular band, accelerating when the Libyan

1 Government changed, and the Gaddafi Government fell, it
2 sort of peaked out of that particular band, but then
3 fell quickly back within that band.

4 What you're seeing by our 2013 forecast is
5 basically taking all that information into account, we
6 have a reference line that's roughly in the same place
7 of where historic crude oil prices have been lately,
8 with our high and low sort of encapsulating our high
9 from our 2011 forecast, and our low from our 2009
10 forecast.

11 So, if there are any questions from the dais, I
12 will take those first, and then I will open it up to the
13 rest of the public.

14 COMMISSIONER MCALLISTER: Thanks for that.
15 Yeah, I guess I'm wondering, well, first I'll just ask
16 specific questions. So the tight oil, I mean, it seems
17 like a pretty huge change that your graph at the top of
18 page 6 here, yeah --

19 MR. EGGERS: Page 6 or page 11?

20 COMMISSIONER MCALLISTER: Sorry, I have two per
21 page, so the top of page 6 which would be your 11.

22 MR. EGGERS: Okay.

23 COMMISSIONER MCALLISTER: So could you describe
24 -- so clearly we're on sort of the tip of the iceberg
25 here if we take this EIA forecast, this was in the EIA

1 forecast here on tight oil?

2 MR. EGGERS: Correct.

3 COMMISSIONER MCALLISTER: Okay, so could you
4 describe where that's coming from and sort of what's
5 driving it and, I mean, is it completely parallel to the
6 shale gas? If you could just expand on that a little
7 bit? I want to get a sense of how much, you know, what
8 the characteristics of this are, but also sort of more
9 importantly what the risk -- uncertainty associated with
10 it actually might be.

11 MR. EGGERS: Well, I would probably say the
12 uncertainty is very little on this particular forecast.
13 This tight oil projection is mainly -- these totals are
14 mainly coming from the Bakken and Eagle Ford areas,
15 which is the North Dakota shale play, as well as the
16 Texas shale play. And what you're seeing here are
17 basically projections based off information that they're
18 already getting from those actual plays. And starting
19 in 2008, we've seen a very big jump in those particular
20 plays as far as projection. And as they keep producing
21 oil out of those particular locations, they get more and
22 more information. And this sort of represents what the
23 industry thinks they're going to get out of those two
24 plays in the near future. Now, this is not really
25 analogous with what we're seeing in natural gas because

1 we did see a very huge explosion in natural gas. This
2 tight oil is coming strictly within their forecasts from
3 those particular two locations, and so this isn't really
4 an opening up of other locations; as I mentioned,
5 there's no California shale oil extraction occurring in
6 this particular reference forecast. And unfortunately I
7 don't have any information on what's happening at the
8 world scale at this particular resolution within the
9 forecast at this time. So there could be increased
10 tight oil production happening at the world level, it's
11 just I don't have any data within their data tables to
12 support that one way or another at this time.

13 COMMISSIONER MCALLISTER: In the U.S.
14 production, is the price -- the likelihood that we know
15 something about the price to have some relative idea,
16 some good idea of what it's going to be going forward,
17 you know, the production price I'm referring to, not the
18 market price.

19 MR. EGGERS: Yeah, unfortunately as we look at
20 the world stage, U.S. production is a very small
21 proportion of this, less than 10 percent, and so it's
22 really not influencing the world price to any certain
23 great extent. That being said, it is depressing the WTI
24 price because that is one of the reasons why that hub
25 has sort of a depressed price right now, because a lot

1 of that Bakken oil is going there and flooding that
2 particular hub.

3 COMMISSIONER MCALLISTER: Okay, thanks very
4 much. Let's go to questions in the room. Anybody in
5 the audience, in the hearing room, that want to ask any
6 questions?

7 COMMISSIONER MCALLISTER: Please.

8 MS. KOROSSEC: All right, we've come to the end
9 of our agenda. We have one final opportunity for anyone
10 who would like to make any comments; however, since we
11 didn't see any people leaping to their feet for this
12 last bit, I imagine we've probably captured everybody,
13 but just -- anybody who does want to make any final
14 comments, or ask any final questions, now is your
15 opportunity.

16 COMMISSIONER MCALLISTER: People are probably
17 saving their juicy stuff for their written comments, I'm
18 sure.

19 MS. KOROSSEC: Yes, please.

20 COMMISSIONER MCALLISTER: But I really want to
21 thank you, Suzanne, and your staff for putting this
22 together, and the presenters for sure. This is really
23 -- this is the foundational work and, to some extent,
24 the experts are the ones who tend to be able to chime in
25 intelligently to this conversation, and I think at some

1 level that's appropriate because it's complicated, and
2 these models are specific models with their own lives
3 and their own users who get it. But I think that
4 doesn't make the conversation any less relevant for the
5 public at large, and I want to just make sure that
6 everybody who feels like they can make the time to put
7 their knowledge on the table, to help the assumptions,
8 and therefore the modeling get better, will be doing all
9 of us Californians a world of good. So I want to just
10 encourage those of you with any ideas or any feeling
11 that it's not going the way you would do it if you were
12 king for a day, let us know, like put it on the record,
13 and we'll have that discussion, and potentially come out
14 with a different approach. So I want to just encourage
15 everybody to participate because that's what gives this
16 process strength. And with that, I will ask Chair
17 Weisenmiller and Commissioner Florio if they have any
18 present comments.

19 CHAIRMAN WEISENMILLER: Again, I would like to
20 thank everyone today for their participation. I think
21 it's been a pretty fruitful conversation. Obviously,
22 there's a lot of -- a lot goes into the Demand Forecast
23 that cuts across various agencies, you know, we talked
24 along the PUC side, the Air Board side, you know, and
25 again the rate issue certainly connects -- we sort of

1 saw the calculator -- I was just trying to figure out,
2 it's also seen Energy Division and DRA Rate Studies, I'm
3 not quite sure they were based on the E3 Calculator, but
4 again trying to have that conversation. So it's
5 important we get this stuff right and it's important
6 that we reach out to get the best information from all
7 sides on it, and that we try to reflect not just an
8 expected case, but low and high cases for all these
9 things so we get some sense of what the inherent
10 uncertainty is.

11 COMMISSIONER FLORIO: Well, it certainly gave me
12 an increased appreciation of all the hard work that goes
13 on here, and PUC will do all it can to contribute as
14 appropriate.

15 COMMISSIONER MCALLISTER: And then thanks again
16 to Commissioner Florio for making the trek out and
17 joining us, and hopefully it's been fruitful, looking
18 forward to doing similar events, the adequacy event next
19 week in your house, and lots of back and forth in the
20 future. It's really important work. So thank you for
21 coming. Suzanne, do you want to sign us off? Do I need
22 to close the proceedings here?

23 MS. KOROSSEC: I think you can go ahead and close
24 it, I just want to remind folks that written comments
25 are due by the close of business on March 5th.

1 COMMISSIONER MCALLISTER: Okay, that will close
2 out our workshop today, and thank you all for coming.

3 (Thereupon, the Workshop was adjourned at
4 3:50 p.m.)

5 --oOo--

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25