

STATE OF CALIFORNIA – THE RESOURCES AGENCY
BEFORE THE
CALIFORNIA ENERGY COMMISSION (CEC)

California Energy Commission

DOCKETED
13-IEP-1K

TN 2946

MAY 13 2013

In the matter of,)
) Docket No. 13-IEP-1K
)
Preparation of the 2013)
Integrated Energy Policy Report)
(2013 IEPR))

California Energy Commission Staff Workshop on
Natural Gas Issues and Forecast Scenarios

California Energy Commission
Hearing Room A
1516 9th Street
Sacramento, California

Wednesday, April 24, 2013

9:09 A.M.

Reported by:
Tahsha Sanbrailo

COMMISSIONER

Andrew McAllister, Lead Commissioner

Pat Saxton, his Advisor

STAFF

Ivin Rhyne, Office Manager Electricity Analysis Office

Melissa Jones

Also Present (* Via WebEx)

Presenters

Greg Mayeur, California Air Resources Board

Brad Bouillon, California Independent System Operator

Roger Graham, Pacific Gas & Electric Company

*Manuel Rincon, Southern California Gas

*David Bisi, Southern California Gas

Robert Kennedy, Natural Gas Analyst, California
Energy Commission

Peter Puglia, Natural Gas Analyst, California
Energy Commission

Tim Kustic, California Department of Oil, Gas,
and Geothermal Resources

Miriam Rotkin-Ellman, Natural Resources Defense
Council

Leon Braithwaite, Senior Natural Gas Analyst,
California Energy Commission

Public Comment

Chris Mclean, California Energy Commission

Katie Elder, Aspen Environmental Group

Mia Vu, PG&E

INDEX

| | Page |
|---|------|
| Opening Comments | |
| Lead Commissioner Andrew McAllister, Energy Commission | 6 |
| Introduction | |
| Ivin Rhyne, Office Manager of Electricity Analysis Office | 7 |
| Cap and Trade in California's Natural Gas Market | |
| Greg Mayeur, California Air Resources Board | 14 |
| Gas/Electric System Interactions | |
| Brad Bouillon, California Independent System Operator | 19 |
| Natural Gas Storage In California | |
| Roger Graham, Pacific Gas & Electric | 38 |
| Manuel Rincon, Southern California Gas | 56 |
| Public Comment | 74 |
| Lunch | 84 |
| Introduction to Modeling Scenarios for Natural Gas | |
| Ivin Rhyne | 84 |
| Updated IEPR Common Case Scenarios | |
| Robert Kennedy, Natural Gas Analyst, California Energy Commission | 93 |
| State and National Gas Uncertainties Cases | |
| Peter Puglia, Natural Gas Analyst, California Energy Commission | 113 |

INDEX

Page

Hydraulic Fracturing in California

Tim Kustic, California Department of Oil, Gas,
and Geothermal Resources 138

Miriam Rotkin-Ellman, Natural Resources Defense
Council 121

Shale Production Uncertainty Cases

Leon Brathwaite, Senior Natural Gas Analyst,
California Energy Commission 168

Public Comment 176

Adjournment 182

Reporter's Certificate 183

Transcriber's Certificate 184

1

1 P R O C E E D I N G S

2 APRIL 24, 2013 9:09 A.M.

3 MR. RHYNE: Welcome to the 2013 Natural Gas
4 Issues and Forecast Scenarios Staff Workshop for the
5 2013 Integrated Energy Policy Report.

6 My name is Ivin Rhyne and I'll be kicking off
7 the workshop today.

8 We have just a few items of housekeeping before
9 we get things started. This conference is going to be
10 recorded.

11 So, if you're not -- for those of you not
12 familiar with this building, the closest restrooms are
13 located just outside the entrance that you came in and
14 to your left.

15 There's a snack bar on the second floor, under
16 the white awning.

17 And lastly, in the event of an emergency and the
18 building's evacuated, please follow our employees to the
19 appropriate exits. We'll reconvene at Roosevelt Park,
20 located diagonally across the street from this building.

21 Please proceed calmly and quickly, again,
22 following the employees with whom you are meeting, which
23 would be myself and several of the staff who will be
24 presenting a little bit later, to safely exit the
25 building. Thank you very much.

1 And with that, I'll turn it over to Commissioner
2 McAllister for opening comments.

3 COMMISSIONER MC ALLISTER: Oh, I want to thank
4 everybody for coming. Those of -- it looks like we may
5 have some people on the Web, as well, and definitely for
6 everybody in the room thank you very much for your time.

7 This is our ongoing IEPR workshop series and,
8 really, we're continuing to lay the foundation for the
9 forecast for natural gas, today. It's super important
10 for a number of reasons that you all know well.

11 And, in particular -- well, I'll let Ivin --
12 this is a staff workshop, so I'm not presiding directly
13 here and appreciate Ivin and his team taking the lead on
14 the organization, and really taking their with a
15 seriousness to make sure that we have a solid foundation
16 for the forecast, and that it's all well-documented,
17 well-explained, and very well sort of conceptualized
18 with input from all of you, and other who submit written
19 and oral comments.

20 Really, the best process, so that's the best way
21 to get everything down so that we have accountability,
22 ultimately, so we have transparency, and an
23 understanding, broadly, of what the process is and it
24 results in a forecast that will be generated as part of
25 the IEPR.

1 Because as we all know, it's a foundational
2 document for the State and it goes to a lot of different
3 places, and it's used, you know, beyond the State for
4 other work, to inform other work that is also setting
5 policy around the country.

6 So, anyway, thank you. And with that, I'll pass
7 it back to Ivin and thank you, again, very much for
8 coming.

9 MR. RHYNE: Thank you, Commissioner McAllister.

10 So, with that we'll jump right in and before we
11 turn it over to the real experts who are going to talk
12 through some of the issues, as well as the modeling and
13 scenarios, really wanted to talk about, first of all,
14 the purpose of this workshop today.

15 First of all, we're here to explore important
16 and emerging natural gas issues. These issues help us
17 to understand what may be coming down the pipe and help
18 us to make better analysis. But it's important for us
19 to get that information from experts in the field, and
20 so we've invited a number of experts from outside the
21 Commission to share their insights on a number of
22 issues, which I'll talk about in just a moment.

23 The second purpose of this workshop is to
24 present model scenarios. And I'm going to emphasize the
25 term "scenarios" or "cases" depending on how you want to

1 look at it. But, really, to start with we're looking at
2 understanding how would we incorporate some of these
3 possible future states of the world into the tools that
4 we have?

5 In this case, a general equilibrium model of the
6 natural gas market that covers the entire North American
7 Region.

8 Finally, the last and perhaps most important
9 part of this workshop is to gather stakeholder feedback.
10 Your input, meaning the input of those here in the room,
11 and those online that we gather through the spoken
12 discussion today, as well as written feedback at the
13 post-workshop is really critical to make sure that we
14 have addressed the issues correctly, that we have
15 provided responsive feedback on issues, and made sure
16 that we have looked at this in a more holistic way,
17 rather than just from the confines of these walls.

18 So, it's important for us to get that feedback
19 and we really look forward to hearing from you today, as
20 well as in the future as you file your written comments.

21 So, first of all, the major gas issues that will
22 be discussed today. Cap and trade for natural gas. Cap
23 and trade is obviously something that has recently been
24 implemented for electricity in California.

25 However, according to State law, natural gas is

1 the next to come under cap and trade. And we've invited
2 a representative from the Air Resources Board to come
3 and talk about that.

4 Next is the interaction between the gas and
5 electric systems here in California. One of the
6 important elements of bringing variable or intermittent
7 renewable generation online is that it poses an
8 operational challenge that California has already
9 started to address, and we think that are actually ahead
10 of most of the rest of the United States.

11 But we've actually invited a representative from
12 the California ISO to discuss that issue.

13 Natural gas storage is an important piece of how
14 the natural gas system is operated, both now and in the
15 future, and we think it may play a part in decision
16 making in the near future. And so, we've invited
17 representatives from gas utilities to talk about how
18 natural gas storage plays into their thinking.

19 And, finally, one of the major national issues
20 that has really captured the discussion in the natural
21 gas field is the use of hydraulic fracturing to extract
22 natural gas from reservoirs where it was previously
23 uneconomic to do so.

24 This hydraulic fracturing activity has
25 implications for where in the United States natural gas

1 is extracted from, how much is available domestically
2 and even, perhaps, where in California gas may be
3 extracted from in the near future.

4 And so, we've invited representatives from both
5 the Department of Gas Geothermal and Oil Resources to
6 talk about what is going on in their rulemaking, as well
7 as a representative from the environmental field, from
8 Natural Resources Defense Council to talk about their
9 viewpoint, as well.

10 Following those discussions, we'll be moving on
11 to a discussion of model scenarios. How do we translate
12 those key issues into something that we can quantify and
13 put into a model.

14 Now, I will be careful to say, and you'll hear
15 me say again later, that some of these, in fact many of
16 these issues are not easily translated into a model
17 input. And we understand that and we think that's
18 actually perfectly fine. We don't intend to capture
19 everything all at once, but where we can we're going to
20 attempt to do so.

21 So, we're going to break these into three groups
22 of cases. The first three cases were discussed at a
23 February 19th workshop. They are the Integrated Energy
24 Policy Report common case scenarios.

25 These are a set of scenarios that have shared

1 input and output assumptions and elements across natural
2 gas, electricity, and transportation fuels. There have
3 been minor revisions and updates to those scenarios
4 based on feedback following the February 19th workshop,
5 and so we're going to share the gas portions of those
6 revisions.

7 The second group of three scenarios is a state
8 and national uncertainties cases. This is a fairly
9 broad brush that encompasses a number of elements that
10 we'll discuss. Some of these are policy elements. Some
11 of these talk about innovation rates, how quickly things
12 are improving with regard to technology for extraction
13 of natural gas. So, this is broad-based.

14 And, finally, the last four cases we're going to
15 discuss this afternoon are shale production on certain
16 cases. Shale, which is the resource from which
17 hydraulic fracturing draws the gas is, again, one of
18 those major question marks going out into the future.

19 And so, we explore four cases that allow us to
20 ask what if. What if shale is perhaps extremely
21 abundant for the foreseeable future?

22 What if the abundance that we think we see there
23 is perhaps delayed some number of years, what does that
24 do to the natural gas marketplace? And we've got a
25 couple of more along those lines and we'll share those,

1 as well.

2 Finally, I want to talk, once again, about
3 stakeholder input. Participation really is the key to
4 improving these results.

5 We'll ask, after each presentation, that if you
6 have a particular clarifying question, please feel free
7 to step to the microphone. When you do so, please state
8 your name and affiliation for the court reporter, who is
9 here. If you have a business card, please share that
10 with her, as well, so that we can get the spelling of
11 your name and your affiliation correct.

12 After each topic area, that will be the
13 appropriate time for discussion for us. So, for
14 example, where we have one presenter we'll just go from
15 clarifying questions right into the discussion topics.

16 However, if we have two presenters, for example
17 in the storage area where we have two presenters, we'll
18 ask that the clarifying questions come after each
19 presentation. And then after both have presented, we'll
20 open the floor to discussion.

21 We will have an open comment period before lunch
22 and we'll have another open comment period at the end of
23 the workshop.

24 We also want to make sure that written comments
25 are encouraged. What is said here is translated into

1 the transcript and we will certainly pay attention to
2 it.

3 But this is one of those -- this is an element
4 of staff work that requires a great deal of information
5 and data, and so if you have that data or information at
6 hand, or if you would like to recommend values, numbers,
7 ways to translate some of these important issues of the
8 day into assumptions, we really want to encourage you to
9 do that. And doing it in the form of written comments
10 really helps us capture that in your words more
11 correctly, and understand your viewpoint.

12 So, we would really encourage you to do so.

13 With that, that is the close of my introduction.
14 I'll ask if there are any questions at this point in the
15 morning, before we get started with our first presenter?

16 All right.

17 (Check for online participants)

18 MR. RHYNE: Thank you.

19 And I'm seeing none in the room and it looks
20 like there are none online. I'm sorry, one note, if
21 you're on WebEx and you have a question for us, you can
22 type it in the chat box and we have a staff member here
23 paying attention to that.

24 And so, we can capture those at the end of each
25 presentation, as well.

1 So, with that, I'm going to bring up our first
2 presenter, who is Greg Mayeur, with California Air
3 Resources Board. And we're going to bring up his
4 presentation. Here we go and you just forward with that
5 button right there.

6 MR. MAYEUR: Thank you. And thank you for
7 inviting me to come over here to give a brief talk about
8 the California Cap and Trade Program.

9 My name's Greg Mayeur. I'm the Manager of the
10 Program Operations Section under the Cap and Trade
11 Program at ARB, and I also wrote most of the NOP and
12 GAAP reporting requirements under our mandatory
13 reporting in my previous job. So, I'm fairly familiar
14 with the NOP/GAAP sector and all financial aid
15 questions.

16 All right. I assume most of you in the room
17 know what Cap and Trade is, but I thought I'd go over a
18 very brief overview just to get everyone on the same
19 page.

20 So, Cap and Trade is one of our suite of
21 measures to reduce the greenhouse gas emissions under AB
22 32, which also includes the RPS, the Low-Carbon Fuel
23 Standard and managed control measures that ARB has
24 implemented.

25 The Cap limits total emissions from all

1 regulated sources. They're mainly large industrial
2 sources and we'll talk a little bit more about those
3 later. And the Cap declines over time as we reach our
4 goal of 1990 emissions in 2020.

5 Participants are on the trade-approved GHG
6 emission allowances which creates flexibility and
7 reduces the compliance, and it works together with
8 command and control measures, which are our traditional
9 measure for reducing emissions in California.

10 The goals of the program, like I said, are to
11 reduce greenhouse gas emissions. We want to price
12 emissions to incentivize change. We don't want to force
13 change, but we want to spur innovation, and low
14 emissions and efficient technologies. It complements
15 existing programs to reduce smog and air toxics. We
16 always are looking for co-benefits with all of our
17 programs.

18 We want to ensure AB 32 reductions for GHGs are
19 realized through a strict limit and we want a flexible
20 mechanism that allows all covered entities to find the
21 most cost-effective mechanism to comply with the
22 regulation.

23 So, who's covered? We have large stationery
24 sources at or above 25,000 mega tons of CO₂e a year.
25 Those are mainly large industrial sources, demand

1 facilities, the firing gas producers, electricity
2 generation and importers.

3 And we are going to cover, upstream, the small
4 combustion emissions at the fuel provider level, so
5 that's the transportation fuels and the residential, and
6 commercial use of natural gas, which you guys are
7 interested in, which will be coming into the market in
8 2015.

9 The requirement of the covered entities, they
10 must register with ARB, they have to report their
11 emissions annually, they have to surrender allowances
12 and offsets to match their compliance obligation at the
13 end of every compliance period.

14 The reductions are program-wide, not facility-
15 specific, so each facility does not have an individual
16 obligation. It's an obligation on the State, as a
17 whole. They must comply with recordkeeping and market
18 rule verifications that are the requirements of the
19 regulation.

20 So, for the local distribution coming, the
21 natural gas distributors, the covered entities are going
22 to be your public utility and gas corporations, like
23 PG&E, San Diego, Southern California, Southwest and West
24 Coast, and then the publicly-owned natural gas
25 utilities. These are just a few examples, like

1 municipalities, municipal utility districts, joint power
2 authorities.

3 And then we also capture the intrastate pipeline
4 so that we have pretty much a hundred percent coverage.

5 Interstate pipelines are only required to report
6 to us, they aren't covered under the Cap. But we do not
7 believe that they would have a compliance obligation,
8 otherwise, because they deliver to mainly large
9 facilities who are covered under the Cap, already.

10 So, here's how your compliance obligation is
11 calculated. You know your receipts at the State gate --
12 or I'm sorry, receipts at the State border or city gate.
13 For like PG&E it would be the State border. For a
14 municipality, it would be the city gate.

15 Then you would add in your receipt from the in-
16 state production, and then volume of gas in storage.
17 Not every entity would have those.

18 And then you also add in or subtract out your
19 in-state receipts and re-delivery to utilities,
20 intrastate and interstate pipelines.

21 And then you do not subtract out the deliveries
22 to covered entities. That will be done by ARB because
23 we're the only ones that will know all the covered
24 entities. There are a few unique cases where the volume
25 of natural gas doesn't make it covered, but they have

1 other fuels or other process emissions on site that will
2 push them over the threshold, so that they will have the
3 compliance obligation on the natural gas in that gas,
4 and not the utility. And we will be able to subtract
5 that out from the utility's covered emissions.

6 Some of those are -- we're looking at adding
7 some additional facilities where the processed emissions
8 bring the -- over the combustion emissions, so those
9 guys will come in even though they have combustion
10 emissions below 25,000.

11 So, the calculation of the compliance obligation
12 is based on a million BTUs of pipeline quality natural
13 gas at each point. If the gas is outside the pipeline
14 quality, you're allowed to report it using our standard
15 methodologies for de minimis amounts, which are less
16 than three percent.

17 If the outside pipeline quantity is over three
18 percent, then you're going to have a carbon sample to
19 gas to report its emissions.

20 And we cover emissions from CO₂, CH₄, and
21 they're all default emission factors in most cases. And
22 CO₂e, or CO₂ from biomass-derived fuels are an example,
23 or biomethane.

24 The economic impact of natural gas, ARB's
25 inventory estimates that the emissions from the natural

1 gas suppliers will be 50 million metric tons in 2012,
2 slowly rising to 56 million metric tons in 2020. And
3 the impact on the cost from the Cap and Trade
4 Regulation, at \$15 an allowance, will be about a seven
5 percent increase for residential customers, and eight
6 percent increase for commercial customers, and a six
7 percent increase for industrial customers.

8 And here are the people that you can contact
9 with any questions, if you think of anything outside of
10 this program. Elizabeth is the Manager of the Amount of
11 Allocations, and they're currently discussing
12 mechanisms, potential mechanisms for free allocations to
13 the natural gas utilities. So, if you have any
14 questions on that, she would be the appropriate person
15 to contact.

16 And Steve's Operations Chief and he can answer
17 any questions or direct you to the right person.

18 Any questions?

19 MR. RHYNE: All right, thank you, Greg.

20 Okay, our next topic is a discussion of the
21 gas/electric system interaction. We have Brad Bouillon
22 from California Independent System Operator.

23 And I will step out of the way to enable Brad to
24 step to the mic.

25 MR. BOUILLON: Thank you. My name is Brad

1 Bouillon. I am the Director of the Day-Ahead Market and
2 the Real-Time Operations Support Groups for the
3 California ISO. It's a recent job change for me and
4 some of those responsibilities include the gas and
5 electric coordination.

6 And while I was new to the official
7 responsibility, aspects of my job, which I'll get into
8 as I go into the slide presentation, have been actually
9 going on for quite a while, and so most of it is not
10 new. Some of the areas in the regional piece that I'll
11 discuss in the later slides will be stuff that I've just
12 recently got into.

13 The history of what transpired to bring up the
14 coordination to the forefront and get more people
15 involved was in February 2011 there was a cold weather
16 event in the Southwestern United States. It resulted in
17 production restrictions and those production
18 restrictions of natural gas reduced the capacity to
19 primarily ERCOT, which is the Texas ISO equivalent, and
20 they suffered some significant outages as a result of
21 that event.

22 Here, in California, we actually did suffer some
23 reduced gas capacity, but we did not experience outages.
24 So, we didn't have the problems that Texas had, but we
25 were impacted because we do draw our gas supply from the

1 southwest.

2 As a result of that, FERC stepped in and said we
3 want to issue a notice soliciting comments on aspects of
4 gas and electric coordination. This was about a year
5 later. And they were very interested to see where
6 everybody stood. They didn't have a good view of the
7 whole picture of what was going on, so they wanted to
8 just found out. It was information gathering.

9 And to that extent, 79 entities across North
10 America responded with various perspectives, as well as
11 identifying issues, and challenges they were seeing.

12 The important note here is that issues vary by
13 region. And there are different regions, from a gas
14 stand point, in the United States that have significant
15 impacts on what's going on.

16 And so, while I'll go into California as I start
17 to drill down more related to us, the northeast, for
18 example, has substantial transmission constraints, and
19 so they're very challenged. And they're actually
20 importing natural gas via ship into their control area
21 to meet the needs of their generation and their
22 residential requirements.

23 And so, there are situations where people are
24 much more challenged than we are from an infrastructure
25 stand point, but there are other aspects and I'll also

1 go into that.

2 From the FERC stand point, they felt it was a
3 very high priority. There's a quote in there that you
4 can read, from Commissioner Moeller. And they were very
5 committed to structuring a process where they could get
6 people involved, bring people to the table and find out
7 exactly what those challenges where, and what is being
8 done to overcome those.

9 And while FERC is facilitating a lot of this,
10 they're also leaning primarily on a lot of the ISOs to
11 provide information so they get a big picture of each
12 area and what those challenges are.

13 So, to that extent, they had five regional
14 technical conferences last year.

15 Our regional technical conference is the west,
16 the Western U.S. The technical conference in D.C, in
17 February of this year, involved information sharing. In
18 particular, how entities are talking to each other from
19 the gas and electric side, and various branches of the
20 electric side with the local ISO, the responsible ISO.

21 And we participated in that conference. I was
22 on a dialogue, and the discussion that I'll get to in
23 later slides, is primarily on information sharing. A
24 lot of people are concerned about how you get a picture
25 of what's going on and how you proactively attempt to

1 address that picture before it becomes an emergency.

2 It's essentially avoiding emergencies.

3 On April 25th, the technical conference was on
4 the scheduling side. That was mainly related to how gas
5 scheduling timelines work, and how the electric
6 timelines are different, and trying to figure how to
7 bring those timelines together. That was the start of
8 that and there's some relatively large gaps in how the
9 timing works, and so they want to try to figure out how
10 to coordinate those.

11 As an outcome of these meetings they are having
12 quarterly staff reports on coordination activities that
13 are essentially updates every quarter. And those
14 started March 21st. And there's some May 16th and 17th
15 hearings in D.C. I'll be attending those and presenting
16 from the California ISO side related to a stats update
17 on what we're doing.

18 You'll get it good just as I go into some
19 further slides and see that we're actually quite a bit
20 ahead of the rest of the nation.

21 Okay, at a more regional level there's
22 involvement at WIEB, the Western Interstate Energy
23 Board. There's a working group underneath that, and
24 I've got to get this right, it's the Western Gas
25 Electric Task Force.

1 And so, you have an initiative going on from
2 this perspective. You also have a compliance initiative
3 going on from WECC. And regionally, WECC and WIEB are
4 pretty close in the states and so you have two
5 perspectives. You have a liability perspective and kind
6 of a proactive perspective on trying to figure out the
7 best solution, rather than just from a compliance
8 initiative that we're seeing.

9 And so, I don't have a slide on the WECC piece
10 because it's really just compliance. They're collecting
11 facts and attempting to comply with the FERC orders that
12 are coming up.

13 From the WIEB standpoint, and the workgroup
14 standpoint you have involved from the people in this
15 room and so they do have visibility at this level into
16 what is going on with the process. And I believe
17 there's an RFP being developed.

18 This is the piece that's new to me, just so
19 everybody knows. There's an RFP being passed out, and I
20 guess it was approved. I'm assuming. I'm assuming they
21 have more information than I do and that's moving
22 forward.

23 In the California focus, in general, as I stated
24 earlier, California is well ahead of the country in what
25 we do.

1 Now, I do want to point out that I represent the
2 California ISO and that's about three-quarters of the
3 State of California. It's not a hundred percent.

4 And so, when I'm in meetings, and I'm at
5 conferences, and I'm involved in communications, and I'm
6 dealing with may data and market responsibilities, which
7 does -- I'll talk about that in the second, I still
8 don't represent a hundred percent of the State.

9 So, there are other entities that are
10 responsible for coordinating other parts, like LADWP,
11 and part of what's called "BANG" which is SMUD and the
12 Western Sierra Nevada Region that bring other pieces of
13 information together, and we have to collaborate as
14 three entities as opposed to one whole for California.

15 Now, from the California ISO side, we share
16 information pursuant to nondisclosure agreements.
17 That's a big deal. We specifically wrote into our
18 tariff the ability to communicate between the gas and
19 electric sides. We got that approved and our parties do
20 communicate. And as a result, we have a much better
21 relationship when you have problems, when you have
22 shortages coming up or maintenance done that restricts
23 output, we actually have communication that occurs
24 between the entities.

25 Generally, it does go through the ISO, as well,

1 sometimes as direct communications we're posting.

2 The second bullet, sending daily estimated gas
3 burn profiles to pipeline companies, that's actually
4 what my group does on the data end. In California, we
5 run a day-ahead market and we run a real-time market,
6 and not many people know that.

7 And when we run a day-ahead market, we actually
8 procure the bulk of the energy solution for the next
9 day. In fact, more than 95 percent of it that's
10 produced is procured a day in advance.

11 As a result, natural gas has a window to get
12 procured outside of the spot market. So, these daily
13 estimated gas burn profiles, we actually send those to
14 the gas companies to show them, based on our awards what
15 the burns are, what the burn rates are that they're
16 going to see. So, the gas companies have advance notice
17 to see if there are going to be impacts based on our
18 forecasts for the next day.

19 Now, I want to be clear, those are based on
20 forecast numbers so they're not a hundred percent
21 accurate. But having 95 percent accuracy of something
22 in advance is a tremendous benefit over relying strictly
23 on the spot market.

24 COMMISSIONER MC ALLISTER: Can I ask you a quick
25 question on that?

1 MR. BOUILLON: You bet.

2 COMMISSIONER MC ALLISTER: So, how -- what's a
3 typical divergence between what you think it's going to
4 be the day ahead and then the actual when it comes
5 around? I mean, is it just a couple percent, a half a
6 percent, or are there moments when it's more than that?

7 MR. BOUILLON: Now, is your question for the
8 forecast or on the day that procurement as support of
9 real-time? I'll talk about both --

10 COMMISSIONER MC ALLISTER: Yeah, I guess I mean
11 both.

12 MR. BOUILLON: Okay. We're very heavily
13 dependent on our forecasts. And our forecasts are based
14 on weather, temperature, and a couple of other factors,
15 and we use multiple forecasting agencies. And the
16 forecast procures occur, essentially the forecast demand
17 curve for the next day. And that curve is, obviously,
18 never perfectly on, so you vary throughout hours of the
19 day by a couple of percent.

20 Our goal there is to be around a two-percent
21 deviation, 98 percent.

22 From a day-ahead solution standpoint, when I
23 stepped into the day-ahead we were procuring about 95
24 percent of the real-time solution. Now, it's between 98
25 and 99 percent.

1 And while that may not seem like a big
2 improvement, those -- once you get -- the closer you get
3 to a hundred, the harder it gets to move numbers up to
4 be accurate. And so, we rely very heavily on the
5 weather forecast and that primarily explains the
6 deviation.

7 But being around 98 percent gives us a good
8 price stability as the economic side, but it gives a
9 very good reliability number for the gas companies to
10 work from, or around 98 percent on the day-ahead
11 solution.

12 Let's see, quarterly meetings to discuss outage
13 impacts. Now, on my outage side we actually go and we
14 do regional outreach meetings to discuss outages. And
15 outages are a big deal because they impact gas output.
16 Because depending on what the outage is, it could be a
17 generator outage that's one of our more efficient gas-
18 fired units and it's on a long-term outage, and we're
19 dealing with that and trying to schedule around it.

20 And, obviously, if you take a very efficient
21 unit out, it takes more gas to get the same megawatts to
22 produce the electricity.

23 And then, we also have, if you have gas line
24 maintenance work that restricts the flow, then we have
25 to work around that. And we have quarterly meetings

1 that address what we're aware of in the groups.

2 Now, the point that's important in that note is
3 that in those meeting we invite the other entities. So,
4 you hear me talk about kind of the "BANG" which is SMUD
5 in the Northern Sierra Nevada Region, and L.A. which is
6 a big one.

7 In the southern meeting that we just had, we
8 invite L.A. So, we get participation on the big picture
9 when they're contributing. We're not just saying, oh,
10 we're the ISO and we're only doing a Swiss cheese and
11 we're going to leave some holes, we're trying to get the
12 whole picture.

13 The goal is reliability and in these instances
14 here we're shooting for reliability. We want to make
15 sure everybody has as much information that we can
16 provide, and we collect as much information as possible
17 to get that whole picture.

18 This was actually excerpts from the FERC report
19 that was issued November 12th. And the quotes, the
20 reason I put those up there is to say that California's
21 in pretty good shape. There are multiple instances
22 where we're doing things that the rest of the nation
23 actually is complaining that they can't do. And that's
24 primarily the communication exchange between entities.

25 And so, if you looked at references to that, and

1 the non-disclosure agreement, as well as communication
2 we, luckily, had vision back when we were setting up the
3 tariff in this area to say it's important that people
4 talk.

5 Because while people look at the ISO and talk
6 about prices, market prices, the main function of the
7 ISO is reliability. It's reliability through markets.
8 And we want to make sure that we have that reliability
9 piece nailed because nobody wants blackouts.

10 And so, when you look at the reliability focus,
11 these are great steps that we've taken and have actually
12 played out to be under the scrutiny of what FERC is
13 currently doing, very beneficial to our outputs.

14 The last thing I wanted to say, the final
15 observation is that this is changing. It's an ongoing
16 process. As more information becomes available, you
17 know, everybody is growing.

18 Now, while we may be ahead of the pack at this
19 point in time, that doesn't mean we sit, stop, celebrate
20 and, you know, watch everybody else work. We actually
21 are focused on what can we do next? What can improve
22 better? How can we work and coordinate with other
23 entities better?

24 And this has a lot to do with looking at the
25 bigger picture. And that's why when you look at the

1 regional pieces, and I started at FERC, and then I went
2 to the Western Area and then to California.

3 Looking at what we want to do from an ongoing
4 process, we actually want to take California and start
5 pushing that out so you end up with consistent
6 approaches and methodologies that are essentially best
7 in class. Some of which may be ours, some of which may
8 not be ours, but the goal here is to have a best-in-
9 class approach.

10 And, finally, the focus is on future system
11 changes. And there's a lot of discussions in this
12 workshop about addressing, from the gas side, changes.

13 And there are lots of other system changes going
14 on in the future, different renewable sources, different
15 transmission modeling, different generation solutions.

16 Different generation solutions will be a
17 challenge coming up with on multiple fronts, especially
18 on the natural gas side, and addressing those
19 proactively and making sure that we have the necessary
20 infrastructures that will be very critical to that
21 success.

22 I believe that is it. Yes, it is. Are there
23 any questions?

24 Unfortunately, I have another meeting obligation
25 so I'll be leaving at lunch. And I know there's an open

1 forum before lunch and I'll be here for that. But if
2 you think of anything in the afternoon, or you have
3 written questions, you can just e-mail me and I'll
4 respond to them, okay.

5 MR. RHYNE: I wanted to ask if you'd address one
6 question. So, have any of the gas utility companies
7 expressed concern or has the discussion revolved at all
8 around kind of the growing role in renewables in
9 California and how has that affected your role in terms
10 of connecting the gas and electric side?

11 MR. BOUILLON: That's a good question. I was
12 contemplating whether or not we wanted to put in the
13 renewables piece. This discussion was focused on
14 gas/electric coordination, so we were looking at kind of
15 like where we are, what we're facing.

16 And the focus on future system challenges,
17 renewables are an interesting paradigm because they're,
18 at least with current technology and, you know, most
19 people think solar, you think of what's on top of a
20 house.

21 But if you look at on the high desert, there are
22 really, really large solar installations that use
23 different technology than just the photovoltaics that
24 are on top of a house.

25 And they provide different energy paths. So,

1 solar, when it gets cloudy, you see shifts in the
2 output. Wind, when the wind starts and the wind stops
3 you see, in the output, the changes in the output.

4 And from a natural gas standpoint, that
5 variability can be very challenging if you're trying to
6 use natural gas-fired generation to backstop those
7 renewables.

8 And that gets into the spot market solution,
9 which is what I was talking about, the forward
10 procurement versus the real-time or spot market
11 procurement.

12 Yes, they are concerned about that. That's a
13 big issue for storage and I don't know if that's on the
14 agenda. I think it is, right, because it's -- but
15 storage is one of the best ways that you can help
16 support the intermittent nature of the renewables is by
17 having sufficient line packing or sufficient storage
18 packing, I don't want to get into too many details on
19 that, where they do have sufficient reserves for spot
20 market support for the gas-fired generation to backstop
21 some of the renewable variability.

22 Right now, we're doing it today, so I want you
23 to know that's not an alarm sound or anything. It's
24 being done today. We have about 5,000 megawatts of wind
25 in California that's -- we've got more than that

1 installed, but actually -- the peak we've seen for wind
2 in California, right now, is about 5,000 megawatts. For
3 solar, it's just under 2,000 megawatts so, about 7,000
4 megawatts for those two sources right now.

5 Obviously, we have tons being installed so it's
6 continuing to grow. And we actually had, I believe,
7 nine solar peaks in the last 14 days. So, you see it
8 coming online and you see those megawatts starting to
9 decline on that variability.

10 COMMISSIONER MC ALLISTER: So, what would just
11 be a vision of a future scenario, when we'll have -- I
12 think it's PG&E and SoCalGas is going to talk about the
13 storage issue.

14 But I guess, from the ISO's perspective, there's
15 sort of the natural gas equivalent of energy versus
16 capacity and, you know, on the electric side.

17 So, you know, it could be that much of the -- it
18 could be that much of the natural gas that's needed is
19 utilized in an increasingly short period, sort of at
20 those morning and afternoon, and particularly afternoon
21 ramps.

22 So, I guess, is that likely to push you over
23 more to the spot market or do you see -- do you not
24 really see that risk?

25 And what, I guess if you could give us a sense

1 of what the difference between, you know, a day-ahead
2 procurement and a spot market typically looks like that
3 would be nice, just in terms of the multiplier.

4 MR. BOUILLON: Okay, you -- I'll ask you a
5 question on that at the end because I need some
6 clarification.

7 The question about integration of renewables and
8 the possibility of like a gas-fired generation on the
9 load pulls, the morning and evening load pulls, this
10 comes back to forecasting because if we actually have
11 the forecasting, you can actually pull a lot of this
12 into the forward market, into the day-ahead market.

13 And we currently have wind, quite a bit of wind
14 and some of the solar scheduling in the day-ahead. It's
15 actually our data and the accounting for variability in
16 many cases. Not all of it. And, again, it's new so
17 it's not a perfect solution, but if you look at what
18 we've done just in the last three years with the wind,
19 we've seen tremendous improvements in the wind
20 forecasting.

21 So, as we mature in the information, and it's
22 hard because you can't so, oh, there's a lot of wind in
23 North Texas so, therefore, we can follow their models.
24 Because California's weather patterns aren't the same as
25 Texas, you have to establish, and then build, and mature

1 your own models, and that's what we're in the process of
2 doing now.

3 And the better you get on the forecasting, the
4 better you get on understanding the weather patterns,
5 the better you'll be able to push that into the forward
6 market, into the day-ahead market which will get you out
7 of the spot need for that provider stability.

8 And that's our ultimate objective.

9 And solar is a little harder predict because,
10 obviously, in wind we can determine at different
11 evaluations wind flows and that will tell us the
12 patterns.

13 And solar, and I'm not professing to be a
14 renewables expert, I just use that data for day-ahead.

15 In solar, you know, cloud cover's very difficult
16 to predict whether you're getting a cloud cover.

17 Your last question, I believe, was related to
18 the fact of the --

19 COMMISSIONER MC ALLISTER: So, yeah, the --
20 well, no, no, I meant like price. So, you know, if
21 you're off by 15 minutes on a heavy ramp you're going to
22 -- that may -- I guess I'm asking the question, does
23 that push some of your procurement over to the spot
24 market? Is it more likely to do that than sort of the
25 way we are today where, presumably, your curve's a

1 little bit flatter?

2 And then on the price, you know, what's the
3 typical difference between -- what's the price downside
4 of pushing more energy over onto the spot market?

5 MR. BOUILLON: Now, gas side or electric side
6 because I --

7 COMMISSIONER MC ALLISTER: Yeah, I'm thinking
8 gas side.

9 MR. BOUILLON: Okay. I'm not an expert on the
10 gas market on prices. I know spot is more expensive
11 than the longer-term procurement. I don't know the
12 factor, like 30 percent or 40 percent.

13 On the electric side I can speak a little more,
14 though that wasn't your question. And that is,
15 typically, generation reflects the fuel price. So, if
16 you have a lot higher fuel price in real-time, your bid
17 is going to be higher, so that the clearing price would
18 be higher.

19 So, I can extrapolate that to say, in general,
20 it's maybe 15 to 20 percent that I see. That I see.
21 Now, they may be eating some of it and it may be more.
22 But from what I see between day-ahead and real-time
23 prices, you know, it's about 15 percent on the
24 difference. It varies, but about 15 percent that I see.

25 Thank you.

1 MR. RHYNE: All right, thank you, Brad. Are
2 there any other questions in the room?

3 Any questions online and on the chat?

4 No. Okay, once again seeing none that actually
5 turns into a nice segue for our next presenter.

6 Roger Graham from Pacific Gas & Electric is
7 joining us here today to talk about the role of storage
8 and their thinking in their operational system.

9 So, Roger, I think the floor is yours.

10 MR. GRAHAM: Thank you very much. I'll talk a
11 little bit of gas storage.

12 How do I get this thing to move? Ah, there we
13 go.

14 I think the SoCalGas, in his presentation we'll
15 maybe talk a little bit more about how the physical
16 storage fields work. This is a representation of
17 McDonald Island, PG&E's largest storage facility. And
18 you can kind of see that it goes down to the gas
19 reservoir. It's approximately a mile deep for our
20 storage fields.

21 There's lots of well bores, lots of wells that
22 have been developed into the field.

23 This is a schematic of one of our platforms of
24 how we get the gas out. The little red spikes there are
25 all the different wells and each one of them are

1 individually controlled to ensure that you can maximize
2 the amount of gas that's flowing out of the facility at
3 any given time.

4 A typical reservoir is not really that uniform,
5 so each well tends to perform differently, so it's
6 important to have those types of controls.

7 In Northern California we're blessed with an
8 abundance of gas storage assets. PG&E has three
9 dedicated fields, McDonald Island, Los Medanos and
10 Pleasant Creek. And we're a partial owner in a fourth
11 field, Gill Ranch.

12 Together, that adds about 105 Bcf of working
13 gas. We can inject about -- at the lower field
14 pressures we can inject about 635 million cubic feet a
15 day.

16 And we can withdraw over 2 Bcf and that's, I
17 think, is really important and interesting for our
18 ability to balance the system and to make a lot of
19 equity in the market is our ability to withdraw very
20 large quantities of gas into our system.

21 In Northern California we also have four
22 independent storage providers, Wild Goose, Lodi, Gill
23 Ranch and Central Valley.

24 Their combined working gas is just about the
25 same as PG&E's, about 105 Bcf. They have a little bit

1 more withdrawal -- I mean, injection capacity than PG&E,
2 a bit more, and they have quite a bit of withdrawal
3 capacity as well.

4 Well, PG&E, we use gas storage for three basic
5 functions. The first one is to meet our utility
6 obligation to serve all customers regardless of the
7 weather conditions, regardless of how fast they want to
8 use the gas, no matter what time of day they use the
9 gas. We use our pipeline system and our storage to meet
10 those obligations to ensure that every customer has gas
11 when they want it.

12 The second major function is providing system
13 balancing, and that is matching the amount of supplies
14 that come into the system any given day or any given
15 moment to the amount of gas that's going out of the
16 system.

17 And also, there's imbalances between the
18 operating pipelines, as well as the amount of gas that's
19 consumed for shrinkage, which is either metering errors,
20 gas consumed for compressor fuels, and various things.
21 But measuring shrinkage every day is a very imprecise
22 science. So, the differences in shrinkage any given
23 day, over a given period end up in the storage fields or
24 out of the storage fields if you're under.

25 And the last basic function is to provide market

1 liquidity and seasonal price arbitrage. I mean this is
2 -- I think a lot of people have always thought of gas
3 storage as being, it's just the ability to buy gas when
4 it's cheaper in the summer months, or the spring and
5 fall, store it and bring it out in the winter.

6 There is a lot of that and that's the major --
7 one of the major things. But it also does a lot for
8 liquidity in the market, the ability to make very short-
9 term transactions. You know, if you have a little bit
10 too much supply today and you don't know what to do with
11 it, you can put in storage. If you're a little bit
12 short, you can take it out of storage. And it really
13 allows the market to be very liquid on a peak day.

14 So, I'll go a little bit into each one of these
15 areas. The utility obligation to serve, I'll give you
16 an idea of the amount of resources in the PG&E system
17 relative to some of the average days, cold days, or what
18 we call abnormal peak day.

19 On the supply side, you know, you look at these
20 and PG&E has three Bcf or pipelines coming into the
21 system, but on a planning basis you might really
22 consider only maybe two Bcf is available because we know
23 a lot of the upstream markets from California when it's
24 cold, or on a hot day consume a lot more gas as well.
25 So, you can't necessarily assume that there's going to

1 be three Bcf of flowing supplies into the system.

2 But if you take a fairly conservative assumption
3 that two-thirds of it would be available, which our
4 historical pattern has been actually much better than
5 that, and then you look at storage, while we have quite
6 a bit more than 3,800 of withdraw capability. Storage
7 fields, their ability to withdraw gas into the system
8 drives with the amount of inventory in the field.

9 So, most of those capacity numbers you see on
10 the previous page were at full field, so you take about
11 an 80 percent discount for that number, assuming that
12 the storage fields won't be completely full.

13 Some field are more efficient at this than
14 others, but for this presentation I used an 80 percent
15 reduction in that capacity to represent that the fields
16 aren't always full.

17 So, that's -- you know, 5.8 Bcf as supplied is
18 really easy to obtain. I mean, it's very available.
19 You're not really depending on, you know, the pipelines
20 being full every day. You're not depending on full
21 storage withdrawals at any moment.

22 When you compare that to an average winter day
23 at peak you need about 3.4 Bcf. A very cold day just
24 recently occurred, January 14th, was actually peaking as
25 the second highest send-out day that we've had in the

1 history of our utility, at 4.2 Bcf. So, that did
2 represent, you know, a fairly extreme example for us
3 that day.

4 And then we had, in our planning criteria we
5 call that abnormal peak day, which is about the coldest
6 -- representing our demand in what would have been the
7 coldest day in the last 90 years. And we think that the
8 demand would be around 4.8 Bcf.

9 So, you see we still have quite a margin of
10 safety for being able to supply the demand in California
11 -- or Northern California.

12 In there we used -- this is a little bit about
13 how we use our storage fields for system balancing.
14 Again, it's not just matching daily intakes, but hourly
15 intakes. Within the day you see quite a variation in
16 our send-out. Especially in the winter, with
17 residential customers, we all have the same habit. We
18 turn our heaters off at night in California, for the
19 most part, and then we have a nice programmable
20 thermostat, well, hopefully everybody does, it's a good
21 energy conservation move, and they all kick on at six
22 o'clock in the morning, or thereabouts, maybe a little
23 earlier, and we see a tremendous uprush of gas in the
24 system to serve that demand.

25 In fact, that type of peak is much larger than

1 any type of peak we see from electric generation. So,
2 you use a lot of gas storage in that.

3 Going back to that day in January, the 24th, I
4 think our average storage for the day was somewhere
5 around 800 million point 8 Bcf on a -- in a peak hour we
6 got to over 1.1 Bcf for storage withdrawals. But that's
7 the type of variation you see within the day. So, gas
8 storage does a lot to deal with that.

9 Then matching supply, over the entire day and
10 then matching the supply and demand over the month.

11 For PG&E, we just require our customers to
12 balance their supply and demand monthly, except for the
13 days we call operational flowers. But for most of the
14 part, most of the time customers just have to match the
15 amount of gas they bring into the system with how much
16 they burn over the month.

17 And, you know, those day-to-day fluctuations get
18 put into storage.

19 On the right side of this chart is an example.
20 We used both our pipeline inventory swing, which is the
21 upper part of the graph, and our storage and catching
22 withdrawal capabilities to balance that.

23 We do see at times where we do -- we have
24 dedicated at least 75 million a day in catch and
25 withdrawal for system load balancing.

1 On any given day we do use more than that. PG&E
2 does use up to the full capabilities of the system to
3 balance if it's needed. So, we don't just limit, say,
4 our 75 a day for load balancing. If the system needs
5 more gas to come out of storage in order to make the
6 system work, we will do that.

7 In fact, we've seen catch and withdrawal rates
8 go well over 200 million a day in a given day.

9 That's just for load balancing, that's not gas
10 scheduled out of the fields for, say, our procurement
11 prove, or for our customers who've scheduled the gas.
12 That's just withdrawals that we make in order to balance
13 the system.

14 And the last part I'll talk about is market
15 liquidity. PG&E Citygate is actually a pretty liquid
16 market. I'll just give you one example, there was over
17 -- there was quite a bit of gas period -- I've seen
18 since that that was actually quite a low day for PG&E's
19 liquidity. It usually averages over a Bcf of gas traded
20 every day, even with Citygate. You know, and that's a
21 combination of flowing supplies, a combination of PG&E
22 storage activity, and the activity of the independent
23 storage providers and their customers. So, there's
24 quite a robust market there to be using the Citygate.

25 COMMISSIONER MC ALLISTER: Could I jump in?

1 MR. GRAHAM: Okay.

2 COMMISSIONER MC ALLISTER: So, I'm curious about
3 this, sort of the -- you're talking specifically about
4 storage here, so maybe the overall system is a little
5 bit different.

6 But I guess I'm -- it sounded like you were
7 saying that the extraction of storage for generation
8 from -- like the generation causing extraction from
9 storage on, say, a peak summer day where everybody's
10 cranking up their AC and, you know, presumably, you've
11 got a bunch of gas-fired power plants needing gas is
12 less than the -- that caused by retail demand for heat
13 on a cooling -- I mean on a heating day in the middle of
14 winter, say. Is that --

15 MR. GRAHAM: That's correct. The winter day's
16 substantially larger than the summer day.

17 COMMISSIONER MC ALLISTER: So, that's an
18 interesting data point because I guess there's been some
19 talk about sort of the electric sector. There's been a
20 lot of talk, actually, that the electric sector's impact
21 on, you know, the need to match localized storage
22 with -- in this future where we're needing to ramp, and
23 scale up, and scale down quickly as renewables come and
24 go, and the concern meaning that that would cause
25 some -- potentially, some localized problems on the

1 supply side for gas to those power plants.

2 Is that sort of not as big an issue, then, or
3 sort of what's the dynamic there? And, you know, we can
4 talk about the whole system and not just the storage
5 component.

6 MR. GRAHAM: For PG&E, it doesn't seem to be a
7 big issue.

8 COMMISSIONER MC ALLISTER: Uh-hum.

9 MR. GRAHAM: PG&E's a somewhat unique utility.
10 Actually, PG&E's, two of the large gas utilities are
11 actually quite unique in the size of our assets. You
12 can go to the rest of the country and you don't see gas
13 utilities that represent as big a service territory and
14 have as many of the assets as we do.

15 As a result of that, we have served very large
16 residential loads, you know, through our system, and
17 we've designed our system to meet those peak hourly
18 needs. You know, because that's the way we grew up
19 doing it.

20 You know, in the east it's very different and a
21 lot of the residential market's not even on natural gas.
22 There's still a lot of fuel oil being burned and things
23 like that. And a lot of the power plants are served
24 directly from interstate pipelines.

25 And they have a very different operating

1 characteristic than serving a lone distribution company,
2 like PG&E.

3 COMMISSIONER MC ALLISTER: Interesting. So, we
4 can have the big trucks on -- you know, we have the 18-
5 wheelers on the road with Smart Cars, or bicycles, even.
6 So, we've got to get one -- just to use that analogy,
7 we've got lots of different tracking on that and they
8 don't really have that issue as much, so we have to look
9 at that here in the State.

10 I guess I'm wondering if you think it's the same
11 around the State? And we'll hear from SoCalGas a little
12 bit later. And maybe Edison would have something
13 different to say about this.

14 But the local liability, capacity, and security
15 is really -- you know, obviously, has to be foremost on
16 our minds. And so, I'm kind of interested in seeing how
17 that matches up across the State. And I know that Ivin
18 and his team are looking at that, too.

19 MR. GRAHAM: Yeah, PG&E's also pretty blessed in
20 that most of the storage fields, at least the ones that
21 PG&E owns are located very close to the major load
22 center.

23 But PG&E also has a lot of transmission ability,
24 through its transmission system, to move that storage
25 throughout our service territory. We don't have a lot

1 of pipeline constraints.

2 COMMISSIONER MC ALLISTER: Okay, thanks.

3 MR. GRAHAM: So, talking about market liquidity,
4 on a set-down basis when you look at the load shape of
5 our end-use customers, we're definitely a winter peaking
6 pipeline. That is, there's a lot more gas consumed in
7 California in the winter, than in the summer.

8 But if you looked at our flows on our backbone
9 system, it peaks in October and then again in April and
10 May. And this is the result of gas storage. You know,
11 those are the cheapest months to buy gas, usually, in an
12 annual cycle.

13 Yeah, you see much higher flows on our backbone
14 system to satisfy the injection requirements into the
15 storage fields. And then you actually see a dip in
16 backbone flows in the winter.

17 You know, even though that's our highest usage
18 day, you're seeing less gas coming into the State in the
19 winter, but the demand being satisfied from storage
20 withdrawals.

21 And, you know, a lot of pipeline. I think,
22 possibly, we've decided, well, would we have enough
23 storage to actually flatten that curve, right. And for
24 most utilities that would be, you know, ideal.

25 We've actually, with the amount of storage built

1 in Northern California, we've gone beyond that to more
2 than flatten the curve to make us now, on our backbone
3 system, a fall and spring peaking pipeline.

4 I mean, obviously, you notice there's a
5 secondary dip, now. We do actually see a fair amount of
6 storage withdrawals, actually physical withdrawals out
7 of the storage fields in July and August to meet
8 electric generation demands. So, we're now into a two-
9 cycle storage season.

10 So, just in conclusion, there is ample storage
11 in Northern California to meet the three basic functions
12 that we build storage for and operate storage for, the
13 utility obligation, system balancing, and market
14 liquidity.

15 Are there any questions?

16 MR. RHYNE: Yeah, I was wondering if you would
17 mind addressing just one issue. You mentioned, you
18 showed a slide that talked about core and non-core, and
19 you didn't explain those terms, necessarily.

20 And I think what would be interesting to know is
21 withdrawal of storage to meet peak demand under, for
22 example say a reduced capacity scenario, perhaps Redwood
23 or Baja, or something has happened upstream.

24 As you withdraw from storage to supply those
25 customers and maintain reliability kind of who falls

1 into those categories of core and non-core and, you
2 know, where does electric generation kind of fall in
3 there.

4 And then, is there some priority given to
5 withdrawals of storage to kind of maintain the electric
6 reliability, as well, in that kind of a scenario.

7 MR. GRAHAM: Okay. So, core is residential,
8 small commercial customers. Non-core is everybody else
9 so, essentially, large commercial customers, industrial
10 customers and power plants.

11 So, we look on -- even on a cold winter day, at
12 about 1.8 Bcf in demand coming from the non-core market,
13 around a Bcf of that is electric generation and 800 is
14 non-core.

15 On our system there's no real priority between
16 core and non-core customers when it comes to storage
17 withdrawals.

18 If there is constraints in our local system, you
19 know, the lines that go out to Fresno, and Sacramento,
20 and the various other parts of our system, if there's a
21 constraint on there our residential customers have
22 priority even over the electric generation.

23 And this is one of the things that we've spent a
24 fair amount of time coordinating with, with the ISO, was
25 understanding, you know, the need for various power

1 plants and whether it involved -- a local curtailment
2 happens and certain power plants are then curtailed what
3 does that do to the electric reliability. So, we've
4 provided that type of information to the ISO so that
5 they know which power plants are at potential risk for
6 curtailments.

7 Now, curtailments are a very rare item. You
8 know, on the second highest send-out day that we've had,
9 on January 14th, we had no curtailment. So, you know,
10 it's got to get really cold. You know, it can get
11 colder than it was on January 14th and it has.

12 But we don't expect much curtailment in the
13 local system, so the power system seems to be pretty
14 good.

15 Did I answer all your questions?

16 MR. RHYNE: I just had one additional storage-
17 specific question. Does PG&E plan on adding any new
18 storage in the next, say, three to five years?

19 And if so, what's driving that decision?

20 MR. GRAHAM: It's unlikely we'll add any storage
21 in that timeframe. We have a lot of storage. The
22 current market prices for storage, you know, sort of one
23 of the main values of storage is that summer to winter
24 price differential, and this has been substantially
25 reduced in the last couple of years.

1 There is no longer, you know, a winter premium.
2 At one time there were people, you know, who were always
3 worried about supply availability in the winter and
4 tended to bid up winter supplies, substantially over
5 summer supplies.

6 But with the abundance of shale gas and the
7 abundance of pipeline capacity, at least in the west,
8 there doesn't seem to be that type of concern. So, the
9 forward curve is quite flat, now, and it doesn't support
10 development of a new storage project.

11 COMMISSIONER MC ALLISTER: One final question.
12 You mentioned shrinkage and I wonder if you could detail
13 that a little bit. You know, what are the sources of
14 that, and the reasons for it, and what kind of
15 percentage are we talking about, generally?

16 MR. GRAHAM: PG&E's system, at the backbone
17 level it's about 20 percent, 22 percent. When you get
18 down into the distribution system it can be around as
19 high as three percent.

20 It's a combination of everything that you really
21 don't know. One of the terms that's in shrinkage is
22 called lost and unaccounted for, which means you really
23 just don't exactly know what happened to it.

24 As you meter the gas coming into the system and
25 you meter it going out, but all those gas metering,

1 unfortunately, are not as accurate as electric metering.
2 you know, you have a 42-inch pipeline with gas flowing
3 through it, you know, you attempt really well to measure
4 it, but there's lots of inaccuracies in that.

5 The gas going out of the system is measured at 5
6 million locations.

7 COMMISSIONER MC ALLISTER: Uh-hum.

8 MR. GRAHAM: And the residential gas meters are
9 not a very sophisticated measurement device. So, in
10 PG&E's system, anyway, they're not even -- they're not
11 temperature correcting, so that the density of the gas
12 that's going through the meter varies with temperature.

13 And on large meters we do correct for that, but
14 on the small meters you don't.

15 COMMISSIONER MC ALLISTER: So, you know, in the
16 electric system it's technical and non-technical losses,
17 right. So, the technical are kind of what you can
18 explain more or less, you know, temperature corrections
19 and things like that. Non-technical would be theft.

20 So, I'm wondering what the equivalent is in the
21 gas system. I mean, do you see non-technical losses? I
22 mean, do you have teams going to track that sort of
23 thing down, you know, like on the electric side?

24 MR. GRAHAM: Yeah, we have lots of non-technical
25 losses.

1 The system, unfortunately, leaks. There is a
2 fair amount of leaking in the system. Some of it we
3 don't -- a lot of it we know where it is. And in some
4 of our remote stations we actually operate mechanical
5 equipment, like valves, with gas pressure. We actually
6 take a little bit of gas out of the system. Since it's
7 at, say, 800 pounds it actually can do quite a bit of
8 work. But after it does that work it's no longer 800
9 pounds and you can't put it back in the pipe. You have
10 to vent it.

11 So, I know that the gentleman who was earlier
12 talking about the reporting requirements, that's one of
13 the things that everybody's been trying to get their
14 handle around with the GHG thing is sort of how much
15 gas, how much methane is lost in the system, and
16 actually escapes the system versus how much is lost and
17 is really due to these metering inaccuracies, and that
18 type of stuff.

19 We do have some theft in the system. We do
20 have, you know, a group of people who go around and try
21 to catch people. See, gas theft is actually a little
22 bit -- generally, it is not as big as electric.

23 MR. RHYNE: Are there any other questions for
24 this speaker?

25 All right. Okay, so we're actually moving --

1 you can mark your calendars; this is a workshop that's
2 moving very quickly, ahead of schedule in fact. We'll
3 note that in the annals of the IEPR history.

4 We have a speaker from Southern California Gas
5 who -- we're trying to get him to log onto the system
6 and he'll be presenting remotely.

7 I'm going to offer that we take, perhaps, maybe
8 a ten-minute break. And if he hasn't logged on by the
9 end of that, we'll move on to my next presentation and
10 then we can open the floor to discussion and comments
11 before, perhaps, we take an early lunch.

12 So, we may be out of here even earlier than we
13 all expected and that will be good for everyone, I hope.

14 So, I will see everyone back in ten minutes, at
15 10:25. Thank you very much.

16 (Off the record at 10:14 a.m.)

17 (Resume at 10:28 a.m.)

18 MR. RHYNE: Okay, I'm going to ask everyone to
19 start finding their seats again. So, thank you, ladies
20 and gentlemen for bearing with us as we took a little
21 bit of a health break and gave everybody an opportunity
22 to stretch their legs.

23 Our next presenter is online and I believe we're
24 able to get things started, if you can unmute him there.
25 Manuel, can you hear me? Are you there? Manuel Rincon?

1 Did you unmute him? We'll try again.

2 MR. RINCON: Can you hear me, now?

3 MR. RHYNE: There you are. Thank you, sir.

4 MR. RINCON: All right.

5 MR. RHYNE: Okay, so you have presenter rights
6 and the stage is yours, sir.

7 MR. RINCON: Okay, thank you. My name is Manuel
8 Rincon. I'm with SoCalGas. I am an economist and I'm
9 in charge of modeling the financial side of storage and
10 risk management.

11 I'm presenting from pretty cloudy Southern
12 California right now, so we'll get started.

13 So, can we go to the first slide, please? The
14 next one.

15 MR. RHYNE: Okay, if you'll just click on your
16 screen, you should have control of the slide deck.

17 Okay, I figured it out. Thank you.

18 Okay, so in Southern California we have four
19 storage fields right now. We have Playa Del Rey, that's
20 in Marina Del Rey in Los Angeles.

21 We have Aliso Canyon in the San Fernando Valley.

22 We have Honor Rancho. That's in L.A. County,
23 the north part of it.

24 And, finally, we have La Goleta that's by Santa
25 Barbara, that's south of UC Santa Barbara.

1 Now, even though we have four different storage
2 fields in our system, gas control tries to maximize the
3 storage capacity, as well as the injection and
4 withdrawal capacity for the storage so that they, in
5 fact, operate as just one giant field.

6 And that's exactly how we also sell our storage
7 rights. So, customers don't have the right to one
8 storage field, but just the storage right in our system.

9 Given that, at the moment our system wide
10 capacity for inventory is 136.1 Bcf.

11 We have 850,000 MMCF of injection and 3,195 of
12 withdrawal. That's injection and withdrawal per day.

13 So, this is a pretty simplified storage cycle
14 and this is how the operation actually works.

15 So, if you go -- can you see my map at all, or
16 you cannot?

17 MR. RHYNE: No, we cannot see it.

18 MR. RINCON: Okay, so on the top of the slide
19 that will be the gas coming in from the pipeline or the
20 distribution system. And that is coming at a pressure
21 of about 250 to 1000 pounds per square inch.

22 And to inject that gas into the storage that gas
23 has to be compressed to at least 1,500 pounds per square
24 inch, but even up to 3,900. So, the gas has to go into
25 a compressor and that process generates quite a bit of

1 heat.

2 So, after that the gas has to be cooled down
3 before it goes to the storage. That's in order to not
4 damage any of the equipment in the field. Obviously,
5 that compression uses a little bit of fuel and we have a
6 small charge, an in-time fuel charge for injecting the
7 storage.

8 Now, once the gas is in storage it can flow out
9 through its own pressure. However, when it comes out,
10 it comes out with some liquid mixed in, so it first has
11 to go into a separator. That removes the oil and water
12 from the gas and the oil is then stored and sold into
13 the market.

14 And, finally, the gas coming out of the ground
15 comes out quite hot, again, so it has to go through a
16 cooling process and then it goes back into the pipeline,
17 which is once the gas is up on the slide.

18 So, that's for operation.

19 Right now, this chart is showing for inventory
20 throughout the year. The black line is a resource level
21 during the storage season, which starts in April and
22 ends in March.

23 You can see from the chart our system operates
24 in two -- it has two cycles throughout the year. It has
25 a pretty small cooling cycle and a much more substantial

1 heating cycle.

2 The cooling cycle is during the hot months, so
3 that would be usually August, beginning of September,
4 and you can see the small withdrawal during that period.
5 That's pretty consistent year over year unless we have a
6 pretty mild summer.

7 Then we have a much more substantial heating
8 cycle and that means that the gas is withdrawn during
9 the winter months which in our system, really is more
10 December through March. In other systems it's more
11 November through March. In our system it truly is
12 December, Jan., Feb., and only the beginning of March.
13 We actually have some injections by the second part of
14 March.

15 So, consistent with that you can see that our
16 storage usually reaches or is near capacity right toward
17 the peak of the summer and right before the peak of the
18 winter.

19 So, another thing to notice is that even at the
20 lowest point there is still storage. There is still gas
21 left in the storage.

22 That function is usually insurance and that is
23 insurance against any unexpected disruption in supply.
24 For example, a hurricane in the Gulf Coast which could
25 affect prices during the hurricane season, and even

1 throughout the winter. Or even some disruption in the
2 demand size. For example, a change in the generation,
3 perhaps it is out of something else of that sort.

4 This chart shows more of the short-term cycles.
5 So, the red line is showing the total receipts. That's
6 the gas that we would see from the interstate pipeline,
7 as well as production in our system.

8 And then the black line is showing the system
9 send out. It's basically the burner feed demand. As
10 you can see, the send out fluctuates quite a bit, where
11 total receipts are elastic, which means that difference
12 between the two lines have to be balanced through the
13 use of storage.

14 What that does is that storage basically
15 balances, so it's for fluctuation between demand and
16 that helps keep prices relatively stable. That is,
17 storage also lowers the volatility of the market.

18 Also, moving a little bit toward the market, the
19 fact that we have the storage also improves the
20 liquidity of the market. So, when you have a very cold
21 day, like the one that occurred in December -- or in
22 January 2012, where you see that peak, that black peak,
23 there is enough gas in the system or in the market to
24 meet that jump in demand.

25 I'm going to go to the last slide and that is

1 just the SoCal Border Forward Curve. And those are
2 forward prices. We see how the market, basically,
3 coordinates the injection of withdrawal periods. So,
4 you can see that that mimics fairly well our inventories
5 throughout the year so that we also have two peaks, two
6 annual peaks, a small peak during the cooling season in
7 August and a much larger peak during the winter.

8 These curves are (inaudible) -- they're pretty
9 liquid, so they give a pretty good indication of what
10 the market is thinking of doing or why the months are
11 going to become injection and which months are going to
12 become withdrawal periods.

13 So, that was a pretty short presentation.
14 Hopefully, you have some questions.

15 MR. RHYNE: I actually think you may -- I do
16 have a couple questions, if you could go back to the
17 annual cycle slide.

18 MR. RINCON: Sure.

19 MR. RHYNE: So, my first question is one of
20 interpretation. If you look at this slide, there are
21 two peaks and two valleys, a relatively shallow valley
22 there during the summer and then the far more pronounced
23 one in the wintertime.

24 Would it be an appropriate interpretation to
25 suggest that they show the relative importance of

1 storage to, first, electric gen, which is shown by that
2 shallow valley, and then residential and commercial
3 heating which is the more pronounced one; is that an
4 appropriate interpretation?

5 MR. RINCON: Yes, I think so. Once you
6 incorporate whatever changes you have year over year on
7 the number of cooling degree days and heating degree
8 days that's true. I think it's a fair interpretation.

9 MR. RHYNE: Thank you. And then my next
10 question is can you maybe speak to the relationship
11 between the operation of your storage system and the
12 operation of the electric system there in Southern
13 California.

14 MR. RINCON: Can you please repeat that
15 question?

16 MR. RHYNE: Can you speak to the relationship
17 between the operation of the storage system that you
18 operate and the electric generation system operated by
19 Southern California Edison, specifically it's gas-fired
20 generation fleet? Is there any relationship there? How
21 is that coordinated? And have you seen, perhaps,
22 increased use of storage recently with a change in their
23 operational profile due to the nuclear power plant
24 outage?

25 MR. RINCON: Yeah, we don't actually track that

1 data so I cannot really answer that question.

2 Clearly, given the two cycles that we have, we
3 do know that generators are using our storage to balance
4 their supply and demand needs but I don't have any of
5 that data. I really can't answer that question any
6 better than this.

7 MR. RHYNE: Can you maybe speak a little more
8 theoretically about the operation of your storage system
9 in relationship to the increasing share of renewables in
10 Southern California?

11 MR. RINCON: Well, I'm probably just going to
12 say what I'm going to assume you already know, which is
13 there is a lot of talk about the renewables being quite
14 volatile so that the need for -- the importance of the
15 storage is going to be greater as the demand of
16 renewables increase.

17 That is because wind is pretty unpredictable.
18 It can go up and down, and whatever changes there are in
19 the generation are going to have to be met with gas
20 generators and, obviously, the fluctuations in demand
21 are probably going to be made up by storage.

22 MR. RHYNE: Okay. And then my last question,
23 before I kind of open the floor to everyone else, you
24 showed a map of the system with the location of your
25 storage fields. Thank you. And just kind of to the

1 untrained eye it looks like the majority of those
2 storage fields are located sort of northeast of L.A. and
3 kind of along the coast there.

4 Is there any constraint in the operation of your
5 system that puts that storage of gas kind of out of
6 reach of any particular region under an area of
7 constrained -- you know, of supply constraint?

8 So, essentially, obviously it doesn't just
9 magically appear where it needs to go the moment you
10 withdraw it, it's got to be transferred there somehow.
11 Do you deal with system constraints from those storage
12 fields into the L.A. Basin at all and, if so kind of how
13 do you work around those?

14 MR. RINCON: David Bisi is from Operations and
15 he does the capacity planning. He's sitting right next
16 to me and he's going to answer this question, so I'm
17 going to pass the phone to him.

18 MR. BISI: Hi. If I understand the question, it
19 was whether or not there are any -- I don't like to use
20 the word "constraints", but any restrictions on getting
21 storage to all corners of our service territory. And,
22 obviously, there are.

23 I mean, people in San Diego do not have, or in
24 the Imperial Valley, or on the far reaches of our
25 systems do not actually receive the molecules from our

1 storage facilities, it just doesn't get there.

2 So, a lot of our services are done on a
3 displacement type basis. A customer in San Diego may
4 have purchased storage and may be using storage on a
5 transactional basis, but in reality they're receiving
6 the majority of their gas from a plumbing supply along
7 the southern system.

8 Specifically, you had asked about the L.A. Basin
9 and that is not one of the areas that does not direct
10 access storage. All four of our storage facilities can
11 serve customer demand in the Los Angeles Basin.

12 MR. RHYNE: So, maybe I can expand on that. You
13 mentioned San Diego. So, is San Diego Gas & Electric,
14 their service territory and their generation resources,
15 would they kind of view the use of your storage perhaps
16 differently than, say, Southern California Edison who's
17 kind of co-located there on top of your storage fields?

18 MR. BISI: No, I don't believe so.

19 MR. RHYNE: So, it's -- I'm sorry, so
20 functionally you would say that it's essentially just as
21 accessible to San Diego, as it is to L.A. even if it's
22 not directly the same molecules reaching them.

23 MR. BISI: Correct.

24 COMMISSIONER MC ALLISTER: Just curious, what's
25 the role of the Punta Azul Plant these days with respect

1 to this -- the map here cuts off at the border, but then
2 it's a facility that is interconnected here. I'm
3 wondering, as far as supply goes, where that -- is
4 significant gas being injected at this point south of
5 the border?

6 MR. BISI: I'm sorry I don't know that I heard
7 your complete question. It sounds like you cut off a
8 little bit.

9 COMMISSIONER MC ALLISTER: Oh, I'm sorry. Is
10 significant gas being supplied into the system or
11 injected into the system from Ensenada at this point?

12 MR. BISI: You mean at our Ojai Mesa receive
13 point?

14 COMMISSIONER MC ALLISTER: No, at the Costa
15 Azul.

16 MR. BISI: What?

17 COMMISSIONER MC ALLISTER: At the Costa Azul
18 gasification plant.

19 MR. RINCON: Oh, you mean, for LNG, is that the
20 question?

21 COMMISSIONER MC ALLISTER: Yes, is there -- are
22 there -- this is not directly related to storage here
23 but is there -- what's the role of that plant in this
24 system at the moment?

25 MR. BISI: It's just another source of supply.

1 COMMISSIONER MC ALLISTER: Right.

2 MR. BISI: And at the moment I'm not sure that
3 the Costa Azul Plant is supplying customers in Mexico.
4 I don't believe we're receiving LNG at the moment from
5 Costa Azul.

6 COMMISSIONER MC ALLISTER: Okay, thanks. So, I
7 wanted to --

8 MR. RINCON: That seems to be market based and
9 the gas just goes where the best price is. So, it's
10 supplied when we need it and if we don't need it, or if
11 Mexico doesn't need it, then it's just not there. It
12 goes to Japan or wherever.

13 COMMISSIONER MC ALLISTER: Well, I guess I'm
14 trying to get -- so, I guess I want to follow up on
15 Ivin's question about, you know, are there any local
16 constraints in, say, the San Diego Region just
17 generally.

18 So, if you did have a -- on that cold winter
19 day, which doesn't actually happen in San Diego that
20 often, I'd say, living there myself, but on that peak
21 day, whether it's in the summer where you need more
22 power or the winter when you need -- you know, have some
23 anticipated heating load are there any capacity
24 constraints to getting gas workings to go and do you
25 anticipate any on the horizon if -- if, for example, you

1 have more generation needs?

2 MR. BISI: See, my opinion is when we talked
3 about constraints, constraints are one of the system
4 designs. The system is performing perfectly as it's
5 designed. It has enough capacity to meet my customers'
6 firm demand on that system.

7 I have enough supply sources to meet their --
8 the demand on my system, as well.

9 Whether customers are utilizing those supply
10 sources or whether or not there's more demand on the
11 system as an interlockable component is sort of beyond
12 the whole planning horizon here.

13 I can build my system to do whatever we want it
14 to do, whatever the market wanted to do, but it's one of
15 costs. So, right now my answer would be no, there are
16 no constraints on my system at any point. It's
17 functioning and performing as it was designed.

18 COMMISSIONER MC ALLISTER: So, going forward you
19 really just depend on knowing what the scenarios are
20 that you're planning for. If I'm understanding your
21 answer, going forward you would just basically say,
22 okay, what are we designing for and you design the
23 system and then you'd build it to meet that demand.

24 I mean, I think in theory, you know, obviously,
25 I think that's the way it works. I guess we're kind of

1 struggling with what the reality is going to be 5, 10,
2 15 years from now and trying to see if there are any
3 issues on the horizon, and so that was the words from my
4 question. And if you have any insight on that, that
5 would be good.

6 MR. BISI: Yeah, that's a fair question and we
7 do forecasts. We do a 30-year forecast for our planning
8 period. The forecast demand has not been increasing in
9 California over that 30-year period, so we're not seeing
10 that there are any problems that are popping up.

11 You all may be aware that there is, you know, a
12 concern that supply is delivered to the southern system.
13 The Blythe receive point is not one of the most
14 economically attractive receive points for our shippers
15 and customers, and so that is an issue. But that's not
16 an issue that's going to be solved really without a
17 large pipeline investment. And whether the market
18 supports something like that is yet to be seen.

19 So, we're not seeing anything over the next 30
20 years that would cause us to be overly concerned. You
21 know, an uninterruptible load could be interrupted, but
22 that's the nature of the beast, right.

23 MR. RHYNE: So, I'd like to follow up on some
24 information that was shared in an earlier presentation.
25 The representative from California ISO, when talking

1 about gas/electric coordination, mentioned the January
2 2011 cold snap in the Texas region that really
3 restricted deliveries of gas to the Southern California
4 Region.

5 Could you maybe speak to the role that your
6 storage system played in helping to mitigate that and
7 how significant was storage in supporting that event?

8 We know that there were no electric outages as a
9 result, but my understanding is that the operational
10 folks were getting a little nervous as the event went
11 on, so maybe you could speak to the role storage played.

12 MR. BISI: Yeah, you know, I really don't have
13 that sort of knowledge on the individual, day-to-day
14 basis. My department and my role is the long-term
15 planning design of the system, and our gas control
16 department works with the Energy Markets Group on the
17 day-to-day.

18 But as I understand it, you know, storage would
19 have been used to meet any supply shortfalls on our
20 system. And on that particular day I know the major
21 concern was getting enough supply on the systems so that
22 it could be held up in conjunction with our storage
23 supplies, as well.

24 MR. RHYNE: I'm sorry, what do you -- what do
25 you mean by held up?

1 MR. BISI: Minimum operating pressures on our
2 southern system.

3 MR. RHYNE: Ah, thank you.

4 MR. BISI: So, storage was put on withdrawal in
5 the L.A. Basin and throughout the rest of our system to
6 try to serve the demand in those areas so that the very
7 little bit of supply that was being delivered at Blythe
8 could be used to serve those southern system customers.

9 MR. RHYNE: And just a matter of curiosity and
10 this is, again, more of an operational questions,
11 obviously, molecules of gas are not instantaneous in
12 transit. So, if you are -- if you see, say, a rapid
13 spike in the San Diego Region how quickly does your gas
14 system or can your gas system compensate for that, and
15 what role does storage play in supporting that?

16 MR. BISI: The San Diego system is a little bit
17 hard because the storage is very limited in getting into
18 that part of our system. You're right, gas doesn't move
19 instantaneously across our network so gas control has to
20 respond to these increases, and they're continuously
21 watching the system to see if demand is increasing on
22 the system, or if supplies are having a problem getting
23 into it.

24 Fortunately for us, you know, we don't have a
25 lot of line pack on our system, but we do have some and

1 that is used to meet these sudden ramp ups and changes
2 in the hourly supply -- the hourly demand on our system
3 so that we can get more gas onto it from our storage
4 fields, or reconfigure valves and compressor stations to
5 redirect the gas supply.

6 So, they use our line paths and our pipeline
7 system to meet that hourly fluctuation.

8 MR. RHYNE: And just for the benefit of,
9 perhaps, those on the room and those on the line, should
10 we really be considering line pack as though it were
11 kind of storage in place but, obviously, at a much lower
12 capacity value than what you have in terms of your
13 injection sites?

14 MR. BISI: No, for purposes of types of analysis
15 like that, line packs on our system should not be used
16 as a supply source to get through the day. First, we
17 don't know if we ever have that because you could be at
18 minimum operating levels to start with.

19 And second of all, any line pack that you do use
20 has to be replenished somewhere. At the end of the day,
21 when we do our simulations of our transmission system,
22 one of the criteria for calling it a successful
23 simulation is we need to make sure our line pack is
24 fully recovered over that period.

25 So, that should not be something that is ever

1 assumed is available to meet customer demand.

2 MR. RHYNE: Okay, thank you. That's very
3 helpful.

4 I'm going to open the floor to questions for
5 this speaker or, actually, I should say pair of
6 speakers, now.

7 Are there any questions here in the room?

8 Are there any questions online?

9 Okay, so we've kind of reached the point of the
10 day, obviously a little early that we're going to open
11 the floor to a more broad-based discussion. We have
12 another topic area to discuss later in the afternoon
13 with hydraulic fracturing, but we've covered a number of
14 issues this morning. All of them I think are very
15 interesting in terms of Cap and Trade, the gas and
16 electric system interaction, and then we've had
17 presentations on gas storage from both PG&E and Southern
18 California Gas.

19 I was wondering if there were any insights,
20 comments or questions on any of these topics from anyone
21 here in the room or anyone online?

22 If you have a question on line, please, again,
23 go ahead and enter it in the chat box and we'll make
24 sure that the question gets asked.

25 We'll just ask the speakers to come to the

1 podium there and speak to the microphone. Thank you.

2 MR. BRATHWAITE: I'm Leon Brathwaite. I work
3 here at the Energy Commission.

4 I was wondering if the speaker from Cal-ISO
5 could speak a little bit more to the issue of the
6 maintenance of reliability as more renewables are
7 integrated into the system?

8 We are looking at different profiles, obviously,
9 in terms of generation, so I was wondering if we could
10 have a little more clarity or a little more insight into
11 that particular issue, which I believe is quite
12 important.

13 MR. BOUILLON: Can I -- I need to fully
14 understand your question, though. Are you asking about
15 as more renewables come onto the system with different
16 profiles, how -- what are we doing to ensure --

17 MR. BRATHWAITE: No, as renewables come on in
18 general, whether it's wind or solar, whatever the
19 profile is, how does that -- how reliability will be
20 maintained as we move away from, say, gas generation to
21 more, say, renewables or whichever generation these
22 renewables will be replacing?

23 MR. BOUILLON: Well, I mean currently in
24 California we're pretty lucky, we have a very diverse
25 energy mix. And so --

1 MR. RHYNE: I think you need to speak into the
2 mic.

3 MR. BOUILLON: I'm sorry, is that on? Let me
4 speak closer to the mic there.

5 MR. BRATHWAITE: Yeah.

6 MR. BOUILLON: Sorry about that. In California
7 we're a pretty diverse energy mix and so as you add more
8 renewables into the mix, you still have a very diverse
9 energy mix in place now, okay.

10 And so, whether you're adding more wind, let's
11 say you're adding a new wind facility, we have existing
12 wind in our mix already and that wind has been modeling.
13 So, we actually have forecasting capability and we have
14 historical information so that as the wind system
15 because more known, you have better predictability, and
16 so you have better reliability.

17 So, whenever you're installing a new one you
18 have a learning curve and then that gets put into the
19 bundle, and then quality and solution improves.

20 So, fortunately, these renewables are being
21 integrated over time. They're not all being dumped in
22 at one time.

23 And while it may seem different, I think is a
24 good word, and it is a challenge, fortunately, it's
25 being staged as it comes in. So, we learn, then we move

1 on. We learn, then we move on.

2 But your question about like what does it mean
3 to, say, a corresponding reduction in gas-fired
4 generation? That's going to prove challenging because
5 you need inertia in your system to match your changes in
6 your demand. And wind and solar -- not all solar,
7 because there is solar that has thermal generation in
8 different technologies, but you still need to meet the
9 inertia requirement to keep the power system adjustable.

10 And you're seeing changes in the gas technology,
11 too. You see power plants being repowered on the gas
12 side right now, where they're becoming more efficient,
13 and they're becoming smaller units. They're getting
14 higher output from -- excuse me, they're getting similar
15 output from smaller units.

16 And so, repowering units, like there's been some
17 done in the L.A. Basin, I believe -- I can't remember
18 the name, but El Segundo, I believe, is repowering. So,
19 you see those kinds of changes going into place.

20 And as those come online, you kind of balance
21 it.

22 And I have -- I think the ISO has very high
23 confidence that integration of renewables, while it may
24 be challenging, I think it's something that actually
25 we've learned a bit from and we're improving as we go

1 along. And the forecasting is the key, of being able to
2 understand the forecast of where that renewable is
3 coming online and we're getting more and more
4 information every day. And that helps us to put it in
5 the mix and grow the information.

6 And a lot of the wind we have multiple years on,
7 now, so we're getting really good forecasts in the day-
8 ahead on that, much better than we had in our first
9 year.

10 MR. BRATHWAITE: Thank you very much.

11 MR. BOUILLON: You're welcome.

12 MR. RHYNE: I was wondering if either of the
13 representatives from PG&E or Southern California Gas
14 could speak to another potential issue. There was --
15 the representative from PG&E mentioned, and I thought it
16 was a very interesting point, that the morning heating
17 ramp is actually many times larger than the ramp that's
18 seen during peak electric generation in the summertime.

19 Is there -- has there been any discussion or
20 analysis to estimate how large of an electric generation
21 ramp would be necessary to stretch the system?

22 In other words, do we understand how fast and
23 how big of a ramp would really kind of put us in the
24 threshold of having to be concerned about it?

25 Because, obviously, you've got a system that's

1 built for that winter ramp right now, both -- that
2 winter ramp only grows as the population grows, whereas
3 the generation ramp is growing as we install -- as we
4 install renewables and then tie those renewables, in
5 terms of their intermittency, to gas-fired generation.

6 So, do you have any thoughts, perhaps, on how
7 large of a ramp we would be talking about before we
8 reached that kind of zone of concern?

9 And the gentleman from PG&E's coming to the
10 podium here.

11 MR. GRAHAM: We don't have a lot of analysis,
12 yet. One of the things that is being worked on,
13 somebody mentioned about an RFP being put out in the
14 Western Area to look at some of this. And we will be
15 getting a better understanding through that work, you
16 know, sort of how big they think this can be.

17 You know, it's going to have to grow quite a bit
18 from where it is today or it's going to have to be a lot
19 more coincidental.

20 You know, we do have a very large ramp up in the
21 early morning and if the gas-fired generation ramp was
22 to be coincident with that, I think there potentially
23 could be some concerns.

24 So, what we see today doesn't show that. I
25 appreciate the fact that we do have some examples, you

1 know, we do have some experience with it. Although,
2 it's not the magnitude of where we think it's going to
3 go, you know, there is a fair amount of solar generation
4 in the system, there is a fair amount of wind
5 generation.

6 And so, when we look at the impacts of what's
7 existing has on our system, we're not seeing coincident
8 ramp rates or coincident peaks that would be causing the
9 concern.

10 MR. RHYNE: Thank you. Any comment from
11 Southern California Gas?

12 MR. BISI: Well, I just would echo what the
13 gentleman from PG&E said. You know, that is an area
14 that is of concern now, the impact of the renewables,
15 and we're looking into it but that work has only just
16 begun.

17 MR. RHYNE: Okay, thank you very much.

18 Any other questions or points of discussion?

19 MR. MACLEAN: Chris Maclean, Energy Commission
20 staff. The group that I work in does a fair amount of
21 system production cost modeling of the electric side,
22 using tools like PLEXOS, and we try to pay attention a
23 lot to system operations, and sort of some of the things
24 that come up, as well.

25 You know, when -- what is the frequency and how

1 often is the electricity system stressed, so we see
2 those in, you know, the various staged emergencies that
3 get called at the ISO.

4 I'm wondering if any of this morning's speakers
5 have done much analysis into looking at the coincidence
6 or correlation between emergency operations and type of
7 conditions on the gas system, so that any time there's
8 OFOs are any of those related to times when we've seen
9 electricity system peak, emergency operations? I'm just
10 curious to see if there's been any look at sort of the
11 historical coincidence of that?

12 MR. BOUILLON: From the ISO's perspective, the
13 question, and I'm going to try to paraphrase and you can
14 nod if I'm close.

15 From some of the flows on the gas side, have any
16 of those contributed to an alert on the electric side,
17 commensurate from what the ISO does when we issue the
18 alerts? Is that the question, I think?

19 In general, the recent alerts in my memory have
20 not been -- or there haven't been gas flow restrictions
21 that have contributed to that.

22 I'm only think back maybe, you know, a year and
23 a half, you know, through last summer and back I haven't
24 seen one. So, I'm not aware.

25 There may have been a maintenance one in like

1 2010, in the fall, when there was some serious
2 maintenance going on in the south system and we may have
3 had a -- I'm not a hundred percent sure, but that would
4 have been the last time I would have seen a correlation,
5 potentially, okay.

6 But in general, like last summer when we were
7 looking at them, there weren't any related to the flow
8 restrictions on the gas side.

9 MR. RHYNE: All right, are there any other
10 public questions or comments?

11 All right, we see none in the room. I'm going
12 to ask if there's any questions or comments online.
13 None. Okay.

14 Oh, we have one more here.

15 MS. ELDER: I'm Katie Elder with Aspen
16 Environmental Group.

17 And my question's really for David and maybe
18 SoCalGas. With the Kinder Morgan proposal to convert
19 part of the El Paso line over to oil, what are you guys'
20 thoughts at this point about impacts on your southern
21 system?

22 MR. BISI: Well, you know, it all gets down to
23 the supply forecasting at Blythe. And I don't have that
24 information. I don't have that data available to me and
25 I don't make those forecasts.

1 We have a Southern System minimum flowing
2 requirement that's needed every day and if it's not
3 there, the system operator will go out in the market and
4 try to find the supplies.

5 So, I really don't have any sort of input,
6 knowledge, opinion on what the Kinder Morgan conversion
7 will do for us.

8 MR. RHYNE: Okay, any further questions?

9 All right, so we've reached a point where I
10 thought we would be about 45 minutes from now, where we
11 have a lunch hour.

12 Now, we would normally, given this timeframe,
13 just give everyone a 90-minute lunch and perhaps come
14 back a little bit early. But we do have a presenter
15 this afternoon who's actually flying in and in order to
16 keep with his schedule, we're actually going to ask that
17 everyone return at one o'clock, so there's a two-hour
18 break, and then we'll come back.

19 That way you can, perhaps, go further for lunch
20 and there are quite a few very, very nice establishments
21 around to enjoy, including our snack bar up on the
22 second floor, if you're so inclined.

23 (Laughter)

24 MR. RHYNE: Sorry, I'm required to plug those
25 kinds of things.

1 Thank you very much for your participation and
2 we will reconvene at one o'clock.

3 (Off the record at 11:08 a.m.)

4 (Resume at 1:05 p.m.)

5 MR. RHYNE: We're going to go ahead and get
6 started with this afternoon's festivities. And we're
7 going to have just a couple of quick housekeeping
8 things.

9 We have a revised presentation from NRDC, which
10 will be presented. And for those of you who picked up
11 presentations this morning, a printed copy is now
12 available on the entryway table. So, if you want a copy
13 of that revised presentation, you can pick that up as
14 well.

15 All of the presentations, by the way, will be
16 posted online after the workshop, as well as a recording
17 of the workshop and a transcript later, when it becomes
18 available.

19 So, with that we're going to go ahead and get
20 started with the second half of our workshop which
21 really helps us to shift gears a little bit from
22 discussing the issues to discussing how are we going to
23 characterize some of those issues inside of the model
24 that we use to estimate natural gas market prices and
25 quantities delivered.

1 I want to begin, though, with just a couple of
2 short notes on the approach. First of all, we want to
3 say up front that using a model is really not
4 appropriate or even possible for all possible
5 assumptions when we're dealing with all of the future
6 variables involved.

7 As you probably heard, if you were listening in
8 on the first half of the day, there's a lot of
9 information, there's a lot of data that even the experts
10 and the owners of the system in the field may not have
11 their hands on.

12 And so, translating what's going to happen, not
13 just today, but what's going to happen over the next 10,
14 15, 20, or even 25 or 30 years may just be impossible
15 with regard to using a model.

16 Now, that doesn't mean that using a model is
17 pointless. It just means that we may not be able to
18 capture everything quite as distinctly, as accurately,
19 or as crisply as many of us would like to see happen.

20 But what we are going to do is we're going to
21 work to translate the assumptions or a set of
22 assumptions into some numeric guidance, and we're going
23 to use expert judgment and stakeholder input to do so.

24 Now, this is a little of the art and science of
25 modeling, which is to say that in some cases, in order

1 to make an estimate of the future stakes of the market,
2 we actually have to begin with a guess about what that
3 future state looks like.

4 And so, it's important for us to population that
5 world with information that comes -- that is the best
6 information that we can gather, given the caveat that we
7 are all human and none of us has foresight. I think if
8 any of us did, we would have been playing the stock
9 market and had no reason to be sitting in a workshop
10 this afternoon.

11 So, given that assumption, we're going to use
12 this input, we're going to use this feedback to try and
13 do our best to put what is as much a consensus set of
14 values together as we can, about what many of these
15 future states might look like.

16 But the truth is, is that it's impossible to
17 predict a one path of the future, and so it's often more
18 informative to do analysis of what about a future that
19 looks like this.

20 And so what we've done is built a few sets of
21 scenarios, actually three groups of scenarios, and total
22 about 10 scenarios of what the future might look like
23 based on a number of assumptions.

24 And so, each of those groups of scenarios will
25 be presented by a different staff member, members of our

1 modeling team who have really been working very hard in
2 the background not only to begin to build what these
3 scenarios might look like, but to incorporate the
4 information and the insight that we gain on a daily
5 basis from interacting with stakeholders, with those in
6 the industry, and those in government agencies.

7 And so, this is a first step, a kind of first
8 draft of what these scenarios might look like. And we
9 would like your help, first of all, in kind of turning
10 those scenarios into a set of assumptions that we can
11 use.

12 So, the three model scenario groups, the first
13 is that we are going to present, again, the 2013 IEPR
14 common case scenarios. Those were the reference, the
15 high energy demand future and the low energy demand
16 future which are coordinated across each of the
17 divisions here, at the Energy Commission.

18 The second set of cases, the State and national
19 gas uncertainty cases looks at a wide variety of
20 possible futures that aren't really focused on shale,
21 but on a number of other issues.

22 And, finally, the third set of scenarios, and
23 we're going to talk through each of these in a moment,
24 the third set of scenarios we're going to talk about are
25 shale production uncertainty cases.

1 And because shale is such an important element in the
2 domestic production of natural gas and it is a growing
3 element in the domestic production of natural gas in the
4 United States and, therefore, is important to California
5 as a major user of natural gas, we felt it was important
6 to really kind of look at what different futures might
7 hold if shale develops along different pathways.

8 So, first of all, the 2013 IEPR common cases are
9 coordinated input assumptions across all of the
10 divisions in the Energy Commission that do forecasting
11 for the 2013 IEPR.

12 This includes the Transportation Division. It
13 includes the Electric Generation Unit, inside of the
14 Electricity Analysis Office, as well as the Electricity
15 Demand side and the Natural Gas team.

16 All of these allow us at the end, when we go
17 forward into the IEPR, to look at a set of cases in one
18 fuel type, for example transportation fuels, and be able
19 to cross-reference that with a similar scenario, with a
20 similarly-based scenario in any of the other fuels,
21 whether that's electricity or natural gas.

22 Now, there is a caveat here. These aren't going
23 to be run to the point where we have a perfectly
24 converged, this-is-the-world-described-to-a-tee, but
25 it's certainly a consistent set of assumptions that work

1 together.

2 Now, these three cases are a reference case,
3 which represent kind of the industry consensus around
4 what the future might look like for all of the different
5 areas, including what future -- what future GP growth
6 might look like, economic growth, population and
7 demographics, all of those taken together.

8 We also look at California is very concerned
9 with understanding and controlling, to some extent, how
10 we grow our demand for energy. How our energy -- I
11 should say our demand for energy grows as our State
12 increases its population, as our State increases its
13 level of wealth.

14 And so, we've done a number of things over the
15 history of the Commission to look to deal with that.
16 And so what we wanted to do is formulate a couple of
17 cases that understand and that looked at what a
18 different energy demand future could look like.

19 So, the first one, well, what if everything
20 grouped to the point that the energy demand in
21 California was very high?

22 And the third case, what if it were very low?

23 And so, these are a number of coordinated cases
24 and Robert Kennedy, from our Natural Gas team will be
25 presenting these cases.

1 Our second set of cases are State and national
2 uncertainty cases. The first case here is to look at
3 what if California, separate from the rest of the United
4 States, really gets out and leads the nation, and gets
5 ahead of the curve with regards to its policy
6 implementation around natural gas and energy in general.

7 And so, there are a number of factors involved
8 here. California has a long history of leading the
9 nation with regard to policy and so we felt that this
10 scenario was an important piece to look at.

11 The second one here is a natural gas/electric
12 case. You may have heard a common theme this morning in
13 terms of this -- this is a growing piece of how we
14 understand how these markets and how these systems, the
15 physical systems will interact.

16 And so, this is one that we're looking to model.
17 What if we end up in a world where the natural gas and
18 electricity system are even more tightly integrated or
19 even more tightly interdependent on each other?

20 And, finally, we look at a case that has much
21 lower innovation than we've seen or maybe assumed in
22 some of the other cases?

23 Now, "innovation" is an important word here
24 because it gets to the idea that as we get better at
25 doing things we get more abundant gas, and we get it

1 cheaper.

2 So, what if this rate of innovation slows? For
3 example, we begin to run into roadblocks, the growth of
4 innovation, the ability of innovation to reduce cost in
5 the production of natural gas really kind of levels off
6 or perhaps even stops?

7 And so, that's an important question because at
8 some point we know that as technologies mature, that
9 innovation rate does tend to slow down. So, this is
10 another important case for us to look at.

11 Finally, the third set of cases -- I'm sorry,
12 the State and national uncertainty cases will be
13 presented by Peter Puglia from the Natural Gas office.
14 Sorry, the State and national uncertainty cases.

15 The shale production uncertainty cases will be
16 presented by Leon Brathwaite.

17 And these four cases, as we've given them kind
18 of shorthand names here, hopefully, are descriptive
19 enough to get a sense of we're looking at shale
20 production, specifically.

21 So, what if shale continues in abundance out for
22 the foreseeable future? That this land-of-milk-and-
23 honey kind of scenario of everything just jumps out of
24 the ground and keeps flowing, what if that continues on?
25 And what does that mean for the natural gas market?

1 The next case we call shale reconsidered. And
2 this one gets to the idea that policymakers, under some
3 sets of circumstances, may look at the shale production
4 areas and begin to consider some of them may be off
5 limits, may raise the cost of production from existing
6 shale cases through certain types of environmental
7 regulations, and they shut down access to new shale
8 cases? And so, we looked at what that means.

9 The third case here, is shale expensive? And
10 this looks at the idea that perhaps, instead of shutting
11 off access to these new plays, that the cost of
12 extracting shale gas from the ground really is just
13 raised by a non-trivial amount, and what does that mean
14 for the natural gas market in the United States?

15 Finally, shale deferred. And this is kind of a
16 little bit of a mix between the shale reconsidered and
17 the shale expensive scenario, where we take our time and
18 new plays that we know about don't get developed and
19 finished quite as quickly as perhaps they might under a
20 more -- a more kind of upbeat scenario.

21 And so, we wait a little bit and they only come
22 online later on.

23 So, those four scenarios will be presented by
24 Leon Brathwaite.

25 So, we're at the point now where we're going to

1 stop there because, obviously, I'm not ready to conclude
2 the workshop, yet, perhaps to someone's dismay. And
3 we're going to begin with Robert Kennedy, who will be
4 presenting on the North American Gas Trade, NAMGas,
5 updated IEPR common cases so, Robert.

6 MR. KENNEDY: Thank you, Ivin. Can everyone
7 hear me okay? I've been known to speak a little bit
8 softly up here.

9 My name's Robert Kennedy. I work in the Natural
10 Gas Unit here, at the Energy Commission, and I will be
11 talking about the updated common cases, as described by
12 Ivin.

13 And keep in mind these are used in the North
14 American Market Gas Trade Model.

15 Before I start, I just want to say that I'm
16 happy to hear your participation here. And as has been
17 outlined throughout the course of this workshop, your
18 input and collaboration is very much valued.

19 And throughout the course of my presentation,
20 hopefully, you'll see how this collaborative effort has
21 been working, both within the Energy Commission and with
22 both -- outside of the Energy Commission.

23 I will be taking about the updated common cases.
24 And keep in mind I know Dave referred to it at the high
25 energy demand in reference, and also at the low energy

1 demand.

2 In my presentation and from my charts they're
3 listed as low price, high price in reference. And I'll
4 be making clarification as I go through my presentation.

5 But to start off, I just wanted to talk about
6 some things that I won't be covering in my presentation.
7 And these are things that were talked about in the
8 February 19th, IEPR workshop.

9 And for those of you that participated in this
10 workshop, this might be a good refresher just to kind of
11 remind yourselves how this all got started.

12 For those of you that didn't, it will get you up
13 to speed, you know, and kind of put everything I'm about
14 to talk about into context.

15 And one of the presentations that was given was
16 about the NAMGas Model, by Leon Brathwaite. And in that
17 presentation we were introduced to the NAMGas model and
18 we were taught how this was evolved from what's called
19 the World Gas Trades Model.

20 And also, we were introduced to the original
21 three common cases. All of the functions were listed in
22 that presentation.

23 Also, my office manager, Ivin Rhyne, talked
24 about the iterative modeling process. And we've been
25 talking about this throughout this workshop. And I'm

1 going to talk about this in more detail. Just keep in
2 mind it involves our demand operatives, transportation,
3 the electricity production cost model, and also our
4 natural gas unit.

5 Finally, we did receive some comments from
6 stakeholders from our February 19th IEPR workshop, and
7 I'll be bringing some of these comments up and how they
8 were addressed throughout my presentation.

9 So, this is a rough diagram of the iterative
10 modeling process. And I'm just going to take my time
11 and kind of walk you through this process right here.

12 And it starts off -- hopefully, you folks online
13 can see my arrow moving around here.

14 It starts off with the Rice University
15 Production, the Updated Economic/Demographic
16 Assumptions.

17 And so, basically, this is information, like
18 historical information coming from EIA demand for
19 natural gas for power generation. You have historical
20 Henry Hub prices for natural gas.

21 All of this information was put into an Excel
22 sheet with the common metric equations were applied and
23 future years of demand inputs were generated.

24 And this information was then input into our
25 NAMGas model. And we did it -- this process was done

1 just to get the ball rolling, just to kick off our
2 model. And we were able to run the model and generate
3 results, and these results were presented in our
4 February 19th workshop.

5 Now, since that time, as I've mentioned, we've
6 made some changes. We have some adjusted cases. And we
7 have since generated new natural gas prices, which have
8 been handed off to the Transportation Demand Model
9 Group, and also our Demand Office.

10 So, they take those prices and, for example, for
11 the Transportation Demand Group what we get -- they run
12 their models with the information that we give them and
13 from them we get demand for natural gas in the
14 transportation sector. So, this is like heavy-duty
15 vehicles, for example.

16 And this arrow, this one right here, that's
17 demand for transportation, for petroleum, electric
18 vehicles that goes into our Demand Office.

19 And this arrow right here, going into our
20 Production Cost Modeling Group, this is basically
21 overall electricity demand. That information is given
22 to our Production Cost Model.

23 And at this point, the model is run and what we
24 get back into our model is natural gas demand for power
25 generation.

1 And this last arrow, this big long one going
2 around, this is natural gas demand in all the remaining
3 sectors, which is commercial, residential, and
4 industrial.

5 Okay, so we get all this information back from
6 this iterative process and at this point what we do is,
7 so we're replacing our original demand inputs and we're
8 hard-wiring them to new demand information that we're
9 getting from these other offices.

10 Now, the elasticity, the price of elasticity
11 that we were using previously for the power generation
12 in all states covered in the WECC, that's going to be
13 turned off and all the demand numbers for power
14 generation are going to be hard-wired into our NAMGas
15 model.

16 Now, for natural gas demand in all other
17 sectors, you know, commercial, residential, industrial,
18 we'll be -- and transportation.

19 Now, outside of California the elasticity will
20 be in effect in those states. So, this is how the
21 process is going to work and this is where the majority
22 of the remaining part of our work is going to occur is
23 right here.

24 So, keep in mind that the work as far as setting
25 up our main assumption, that has been mostly completed.

1 This is where a lot of the meat and potatoes is going to
2 occur is right here.

3 So, I wanted to talk about changes made to our
4 common cases. Let's first talk about the reference case
5 since our February 19th workshop.

6 And one of the changes were made in the coal-
7 fired generation retirement. Originally, we had 30
8 gigawatts starting in 2014 for retirement. Now, we've
9 since changed that to 61 gigawatts starting in 2014 and
10 this is going to continue uniformly until 2025.

11 And this was done -- keep in mind that we did
12 start with our model, our model from our last IEPR cycle
13 and we did use information from the Brattle Group. But
14 since that time the Brattle Group has come out with a
15 new report, with new data that we're now using, which is
16 why we've made this change that you see here.

17 Next, we made a change in the Renewable
18 Portfolio Standard and how that's handled. Originally,
19 we had California meeting its RPS on time, with a five-
20 year delay for all other states outside of California.

21 We've since changed that so that California and
22 the rest of the WECC states meet their RPS on time, and
23 there's a five-year delay elsewhere.

24 Now, we did this for a couple of reasons. There
25 was a comment from SMUD, asking, you know, this doesn't

1 seem reasonable and we might consider changing this.
2 And also, we made this change to make our assumptions
3 more in line with the assumptions that's represented in
4 the Electricity Production Cost Model.

5 Next, we have updated infrastructure capacity
6 addition to export natural gas to Mexico. Some of you
7 may know there's been a lot of activity to meet growing
8 demand for natural gas in Mexico.

9 FERC has come out and said that several pipeline
10 projects have been proposed and if all of them are
11 built, they should be online by 2014, with a combined
12 export capacity of 3.5 Bcf per day.

13 Next, we did adjust some of the structure in our
14 LNG sector. And again, this is changes we've made
15 coming from the World Gas Trade Model, restricting it to
16 the NAMGas Model.

17 Previously, we had a whole world model, and we
18 just felt that was too cumbersome. We wanted to focus
19 on North America so all the links going to the rest of
20 the world were basically combined into an androgynous
21 link to account for LNG imports and exports.

22 And, originally, it wasn't working quite right.
23 Some of the imports to North America were a little too
24 high, so we had to make some adjustments there.

25 Okay, now, I want to talk about some changes

1 made to the high price/low demand case. And, first,
2 we'll talk about the cost environment. And I just want
3 to say this is a major change. And I'll get more into
4 this later on as to why we made this change, and some
5 more details about this. But for now, just keep in mind
6 that P50, we're talking about an average cost
7 environment which is represented in our reference case.

8 And the P10 is a high cost environment.

9 So, basically, we went from an average cost
10 environment to a high cost environment for the high
11 price case and low demand case.

12 Next, you see the same changes, updated
13 infrastructure capacity addition to export natural gas
14 to Mexico and, also, the changes made in the LNG sector.

15 And just consider these are just universal
16 changes made to all the cases. Keep in mind that our
17 high price/low demand case and low price/high demand
18 case, these are born from our reference case. There are
19 some similar assumptions.

20 And all the assumptions specific to the high
21 price/low demand and low price/high demand is outlined
22 in the February 19th workshop.

23 Okay, now, talking about the low price/high
24 demand case, we went from average cost of running to a
25 low cost environment, which is the P90 line. And I'll

1 talk about this in more detail later.

2 And for coal-fired generation we went from 1
3 gigawatt, starting in 2014, to 31 gigawatts retiring
4 starting in 2014, and I explained the reason why we made
5 that change.

6 And, again, we have our universal changes right
7 here.

8 Okay, now, I just wanted to talk a little bit
9 about the cost environment. I know this was covered in
10 our last workshop, but I just wanted to kind of educate
11 everyone to why we did what we did.

12 First of all, what you're looking at here is
13 data graph from KLEMS, for capital labor energy
14 manufacturing and service. And this is historical data
15 that's in the graph.

16 And you can see that there's kind of a spike
17 right here. This represents a high cost environment.
18 In fact, the P10, the line that represents 90 percent
19 change that production costs will fall below this level,
20 the black line here represents an average normal cost
21 environment. And those years are a typical cost
22 environment, which is P50. And you can see that
23 occurring in 1975, and 1986, and also in 2003.

24 And, finally, we have P90, which is the low cost
25 environment, which is a 10 percent chance that costs

1 will fall below this level.

2 Okay, now, I want to talk a little bit about the
3 results that we got from these adjusted cases.

4 And this shows Henry Hub price results, a graph
5 from 2011 to 2035. And the dotted -- the dashed lines
6 that you see here, this is from our previous case
7 results, as presented in our February 19th workshop.

8 And the solid lines are the new, adjusted case
9 results.

10 And I should mention that we did receive
11 comments from PG&E, saying that previously this band
12 that wasn't certainty, but was a range, was maybe not
13 reasonable and doesn't capture all of the certainty
14 output that may occur in the future. So, we were
15 advised to see about making it wider and larger.

16 And I can say the main thing that accomplishes
17 was adjusting the cost environment, and I just explained
18 that.

19 So, we did widen the zone just a little bit.
20 And keep in mind that some may feel that this is kind of
21 a narrow zone, and the reason for that is because we
22 have an abundance of production coming from shale cases.

23 Okay, now, I want to talk about differentials,
24 basically, looking at the price offered at Topock minus
25 Henry Hub natural gas prices.

1 And you can see for the low case, when the bar
2 is very much high that means Topock's very much higher
3 than Henry Hub. And when it's down here, it's the
4 opposite Henry Hub's higher than Topock.

5 Now, you can see in the formative years it's
6 negative and then it becomes positive. And the main
7 reason for that is the shale production -- natural gas
8 production from the shale case is really ramping up as
9 we move forward in the future, and this kind of re-
10 orders the supply portfolio.

11 Okay, now, I want to talk about the reference
12 case on a national level. And this is the snapshot of
13 the year 2025. And there's no particular reason why we
14 chose 2025. We felt that was just a good point to look
15 out far enough in the future to see what's going on.

16 And if you look over here, you can see Canadian
17 imports represented by the blue arrow. And keep in mind
18 this is a gross number, is 12.7.

19 First of all, I should say that in the lower 48,
20 demand is coming from two areas, and that's end-use and
21 exports. And the Canadian imports is one source that
22 the demand is being satisfied by.

23 Another is the lower 48 production, which is
24 about 72.3. And also from LNG imports, which is fairly
25 small at 0.21 Bcf per day.

1 Now, this export, this is the gross number as
2 well, going to Mexico and also Canada, with a little bit
3 of LNG, and that's 8.4 Bcf per day.

4 Okay, now, we're looking at the high price/low
5 demand case, again for the year 2025.

6 And this parentheses right here symbolizes an
7 almost 18 percent increased when you compare the price
8 here versus the reference case.

9 So, all of these parentheses numbers are the
10 comparison to the reference case.

11 And as you can see, the higher price did play a
12 role in reducing end-use demand by 9.1 percent.

13 And when you have a higher price for natural gas
14 it makes -- well, actually, I have to say for the high
15 price case, the accepted assumption is such that LNG
16 export explodes, so that's why you see an almost 67
17 percent increase in exports.

18 And this demand satisfied by Canadian imports
19 fell by 2.4 percent, the lower 48 1.2. And LNG imports
20 rose by 204 percent because there's such a high price
21 being offered for natural gas. So, it's just kind of a
22 strange thing to happen when you see exports and imports
23 increase, and that's what happens when you force
24 something in the market which, in this case, we forced
25 LNG exports.

1 Okay, now, we're looking at the low price/high
2 demand case. And when you look at the price compared to
3 the reference case, it dropped by almost 14 percent.

4 And a low price has an impact on end use,
5 driving up demand by about 10 percent. And export fell
6 by 34.5 percent. And the reason for this is because
7 there's more demand for natural gas, making less supply
8 available for export.

9 And so, this demand was met by Canadian imports,
10 which rose by 2.4. Domestic production picked up by 6.5
11 percent. And LNG imports declined by 57 percent, most
12 of the demand coming domestic production increase.

13 Okay, now, I want to look at specifically how
14 these case results affected California. And looking at
15 the price offered at Topock and you can see, once again,
16 our original case represented with the dashed lines.

17 And our new case is represented in the solid
18 lines. And you can see, once again, we have achieved a
19 larger zone of uncertainty.

20 So, here we show California where, again, the
21 main demand is coming from end use. There's no demand
22 for export in California.

23 And you see at the Malin Hub, 2.68 Bcf per day
24 is coming in and this is the combination of GTN and
25 Ruby. And we see 1.25 Bcf per day, and it also comes

1 out to 2.32. Keep in mind this is our reference case
2 for 2025.

3 Okay, now, I'll do a comparison against the
4 reference case looking at our high price/low demand
5 case, and price rose by about 16 percent.

6 And so, when you have the price rising, once
7 again you see end-use demand dropping off about 8
8 percent.

9 And when you have demand dropping off, supply
10 follows suit.

11 Imports at Malin dropped about 3 percent. At
12 Rocky Mountain it's about 8 percent, Southwest about 12,
13 and local production dropped off about 20 percent.

14 And this is our low price/high demand case
15 compared against the reference case. And the price
16 dropped by 11 and a half percent compared with the
17 reference case.

18 And so, when you have low price it spurs demand,
19 end-use demand, which picked up about 10 percent.

20 And here we have consistency with demand being
21 satisfied at Malin, with a plus almost 4 percent. Rocky
22 picking up about 5, the Southwest at 16 percent, and
23 local production really ramping up at 45 percent.

24 So, in summary, these are the main things I want
25 to leave you with. And the thing is, the work is

1 ongoing. And as I've said in the past, our main key
2 functions have been mostly set. However, most of the
3 work is still going to be with the modeling iterative
4 process, which is we're going to have new demand inputs
5 as a result of the outputs from the Transportation Model
6 demand and, also, the Electricity Production Cost Model.

7 Now, there's still a chance that we could
8 receive some more stakeholder suggestions, so there
9 could be some changes that result from that, as well.

10 And, finally, I'd like to remind everyone that
11 we did address the, you know, concern with the narrow
12 zone of uncertainty, and we did that by adjusting some
13 of the cost environments, which did affect a slightly
14 larger zone. But keep in mind it's still narrow because
15 of all the supplies that we're getting from shale
16 production.

17 Okay, with that I'll take any questions you may
18 have.

19 MS. JONES: Melissa Jones with the Energy
20 Commission staff. I have a question for either Robert
21 or for Ivin.

22 I was looking at the coal-fired generation
23 assumptions between the low and the high cases. I
24 noticed in the reference case that you have much higher
25 retirements starting at a much higher level, sooner.

1 And I was wondering about the rationale for that change
2 in assumption?

3 MR. KENNEDY: Well, keep in mind that this is
4 new information that we're dealing with. That old
5 retirement number came from our previous model, the
6 World Gas Trade Model which we used in the previous IEPR
7 cycle. So, this is more real-time information and
8 that's what we're using right now.

9 MR. RHYNE: Yes, that's what I was going to
10 point out. The numbers, themselves, are the result of a
11 survey conducted by the Brattle Group.

12 So, the previous survey had estimates of about
13 31 gigawatt hours and the more current shows about, I
14 think the number is 61 gigawatt hours within -- with a
15 range based on that.

16 So, that's the reference that we're using.

17 MS. JONES: My question's not about the overall
18 numbers, it's about the rationale for lowering it in the
19 low price/high demand case from what you have in the
20 reference case.

21 MR. KENNEDY: It actually increased it from 1
22 gigawatt retiring to 31.

23 MR. RHYNE: Well, the reduction represents
24 actually a reduction in demand, which will tend to lower
25 prices along with it. So, it reduces the demand on the

1 electric gen side for gas and reduces gas competition,
2 helping to reduce the overall market price.

3 MR. RHYNE: All right, it looks like we have a
4 question online.

5 The question is can we clarify regarding LNG
6 exports in each of the three cases?

7 MR. KENNEDY: First of all, I just want to say
8 that we did convert the World Gas Trade Model to the
9 NAMGas model. So, previously, we had the whole world
10 model with regard to LNG imports and exports.

11 So, when we changed it over to the NAMGas Model
12 we disconnected the link to the rest of the world and we
13 just have a single node representing LNG imports and
14 exports.

15 Now, what was the question, again? Oh, okay, so
16 originally when we looked at our results, the imports
17 coming into the United States was very, very high. We
18 knew it wasn't correct.

19 So, we went back and we looked into what the
20 issue was and we found out that the forward cost trends
21 were a little bit too high for the LNG node that we put
22 in for NAMGas.

23 So, since that time we adjusted that number to
24 correct that error.

25 MR. BRATHWAITE: I'm Leon Brathwaite. I work

1 here at the Commission.

2 Okay, I suppose as considering the question that
3 was just asked about LNG exports, in the high price case
4 LNG exports were forced, okay.

5 In the reference and the low price case these
6 are economic dispatched in the sense that the model
7 decides what will flow and what will not flow.

8 But in the high price case, it was not an
9 economic decision. It was forced because of the inputs
10 that we put into the NAM, into the model. So, that was
11 the only clarification I wanted to add to Robert's
12 answer.

13 MR. RHYNE: Are there any other questions?

14 MS. VU: Hi, I'm Mia Vu from PG&E. I appreciate
15 the effort that the Commission has done to widen the
16 range of uncertainty.

17 But what I see here is the range of price
18 uncertainty here tends to focus more on the cost side.

19 What we have learned from the past year, and a
20 lot of discussions in the industry, is that there are
21 changes in the demand side, as well.

22 Some are not immediate. For example, efforts to
23 increase gas use in transportation, like the fleet
24 vehicles, like CNG or LNG for large trucks and marine
25 transportations. Those may not be immediate effect but,

1 say, ten years down the road there will be some level.

2 Another that we saw is the -- what they call is
3 a revival of competitiveness in the manufacturing
4 industry. We don't see anything that competes, yet, but
5 some examples of -- because our natural gas cost here,
6 say, is about \$4, while the world is paying, say \$15,
7 \$16 in Asia, and then \$11 or \$12 in Europe. So, that
8 brings a lot of competitiveness here.

9 So, I saw a lot of forecasts that shows there
10 are higher demand, industrial demand longer term.

11 So, the question here, have you looked at those
12 factors and may incorporate something in the model to
13 show the wider range of demand, as well?

14 MR. RHYNE: Yeah, so first of all, thank you
15 very much, that's a wonderful question.

16 The short answer is, yes, we have looked at
17 that. At the same time, we're always open to specific
18 suggestions, backed up with perhaps some references, on
19 where we might find values for future demand for any of
20 those values.

21 One of the areas that -- one of the things that
22 we have done is we've looked at how demand might vary as
23 economic growth nationwide really picks up.

24 One of the challenges in presenting the values
25 that we have here is that we're presenting values for,

1 really, what is a worldwide commodity, and in this sense
2 largely a North American viewpoint on that commodity.

3 And so, fluctuations in that market tend to have
4 to be rather large in order for them to show up as
5 pervasions or changes in the price direction or the
6 overall net -- or I should say, gross demand.

7 At the same time, we really would appreciate
8 further input from PG&E, and anyone else who might have
9 specific values that they think. We have, in fact,
10 included natural gas transportation in these common case
11 scenarios.

12 And our Transportation group is working closely
13 with us to make sure that we have values that are
14 grounded in reasonable assumptions, as well as
15 understanding what growth might be in terms of
16 manufacturing, and how all that comes into play.

17 The one caveat I would say is that you can only
18 become so granule when you look at an entire North
19 American model. And so we have to balance what data is
20 available with the level of assumptions that we have.

21 MR. KENNEDY: I just want to add to that. And I
22 just wanted to just remind everyone that the results
23 that I'm presenting here are based on econometric
24 historical data, and we have yet to fully go through the
25 iterative process.

1 And some of these things that you mentioned are
2 being considered in our other groups, our Demand Office,
3 our Transportation, and also the Electricity Production
4 Cost Model.

5 So, when they run their models and we get demand
6 inputs back from them, it will help -- these numbers are
7 going to be different after that.

8 MR. RHYNE: All right, are there any more
9 questions in the room? Anymore online?

10 Okay, with that we're bring our next presenter,
11 Peter Puglia, to the podium to talk about the scenarios
12 addressing gas issues, uncertainty in the national and
13 State uncertainty cases.

14 MR. PUGLIA: Thank you, Ivin.

15 I want to just take a minute to talk about the
16 PG&E question about demand side effects on natural gas
17 because that's principally my responsibility.

18 And I've mentioned three pretty ripe targets,
19 mentioned LNG exports, mentioned industrial
20 capitalization and increased demand in the industrial
21 sector for natural gas and then, finally, mentioned
22 natural gas vehicles.

23 Ivin's prep, we are looking at that, and that's
24 more my job than anybody else's. And it's an important
25 topic because it's in front of the Department of Energy

1 right now, in their deliberations about whether to grant
2 export, LNG export licenses to about 20 applicants who
3 want to build terminals on the coastlines of the United
4 States to export LNG.

5 And it's something that has to be modeled
6 because the prices in the United States, while they
7 might be \$4 and \$5, and they might be \$20 in Japan and
8 Korea, and \$18 in Latin American and Europe -- actually,
9 I think they're less in Europe, you still have the net
10 back costs which, for getting LNG, for gas out of the
11 United States to any of these other destinations, those
12 costs could range between \$4 and \$6. That's Rice
13 University, that's the publicly available numbers from
14 them. So, that's going to add to your cost.

15 There are also -- whether LGN is actually going
16 to get exported is also influenced by the proximity of
17 overseas markets. China has, possible, shale deposits
18 that are larger than the United States. Australia is
19 currently the largest LNG producer in Asia and their
20 costs to supply those markets are going to be less than
21 the United States in any circumstance.

22 So, whether we're going to export anything to
23 Asia is a big question.

24 Europe is probably going to be supplied by the
25 Russians. They'll stop playing games with the gas

1 problem and then they'll take care of that.

2 And the industrial sector has to be modeled on a
3 global level and right now we're using a North American
4 model to do that.

5 And if we model assumptions with industrial
6 expansion globally, then we can probably get a picture
7 of how to do that.

8 And we'd love to get some of your ideas about
9 how we can do that.

10 We're also assuming natural gas vehicles
11 assumptions that are a variety of different things, and
12 those also treat demand side natural gas curves.

13 So, whatever you guys want to do to try to push
14 the price or push other curves around, we'd really
15 appreciate that, too.

16 So, that sounds like a fruitful venture and I
17 would appreciate any collaboration we could get.

18 Okay, as Ivin mentioned, I'm here just to give
19 you a quick recap of -- a recap? An introduction to the
20 three cases that we constructed to attempt to address a
21 marriage that we could possibly attain, that would pose
22 certain challenges for the State of California.

23 Ivin described them all. The California policy
24 case, which we discuss six assumptions that attempt
25 to -- that are reasonable, could occur simultaneously,

1 that attempt to treat the natural gas market's response
2 in a quantitative manner.

3 We start out with -- each of them starts out
4 with one of the core cases. In this case, the
5 California policy case, it starts out with the low
6 price/high demand common case assumptions.

7 Now, if it seems contradictory to you that you
8 have low prices with high demand, you can just keep in
9 mind that the supply curve moves out to the right, then
10 all you need is for the demand curve to move out not
11 quite as far and you'll get the low prices that you're
12 looking for, and that's what we're trying to model here.

13 The assumptions that we change or add, or we use
14 the P10 cost environment which, as Robert got into a
15 little bit, that implies a 90 percent change of natural
16 gas production costs fall below the line that you saw on
17 the KLEMS chart, which delineates 160 percent of year
18 2000 benchmark costs.

19 Then, also, we assume that California meets its
20 33 percent RPS by 2020. And other states delay theirs
21 by three years.

22 We also have very optimistic natural gas vehicle
23 policy goals and energy efficiency is achieved, those
24 goals are achieved by work of the Energy Commission's
25 Energy Demand Forecast.

1 The last one, and Monterey Shale's fully
2 developed in seven years. And this is on top of
3 increased gas assessments for the Marcellus, Haines Whole
4 Shale, and the Western Canadian Sedimentary Basin, which
5 will help to satisfy a much higher supply than the
6 demand and keep prices down.

7 The last of the six new assumptions, we're
8 assuming that we'll have carbon credit price response
9 curves because we're assuming a GHG cap and trade
10 market, as you see at the bottom of the next section,
11 along with the same low price/high demand common case
12 assumptions that Robert talked about to some degree.

13 LNG exports, 40 cents per 1,000 cubic feet.
14 Hydrofracking operation maintenance costs, 20 cents per
15 1,000 cubic feet. Additional costs for water use and
16 disposal for conventional gas.

17 Coal-fired conversion, 31 gigawatts of coal
18 plants convert to natural gas, or they're either
19 repowered or replaced. Using the same technology
20 improvement rate, 2 and a half percent, GDP is 2.1
21 percent.

22 And I already mentioned we do have a cap and
23 trade market in that scenario.

24 The second, as Ivin mentioned, the natural
25 gas/electric case. We're looking at a future where

1 there will be greater integration of natural gas and
2 electric system, and which is already happening, and how
3 they interact with the future when they are more closely
4 integrated.

5 In this case, we begin with the reference case
6 assumptions. We add the P50 cost environment that
7 natural gas and electric costs are either above or below
8 105 percent of year 2000 costs.

9 Instead of the reference case of 33 percent RPS
10 by 2020, we replaced it with 40 percent RPS. We're
11 jacking up the electricity's share, renewable share of
12 the electricity market in sales.

13 And all of the WECC states will meet their RPS's
14 on time.

15 We replaced the 61 gigawatt of coal-fired
16 retirement in the reference case with 80 gigawatts.
17 That's how that one works.

18 In that case, all the other variables remain the
19 same as you see in the reference case.

20 Finally, it is below innovation case. Also,
21 these haven't been populated, yet, we're just starting
22 to do that.

23 This whole modeling, this will be modeling-
24 impacted assumptions that will restrict U.S. gas supply.
25 It doesn't mean the gas isn't still there, it just means

1 that a different -- a number of different assumptions
2 will prohibit it from being extracted from the ground.
3 It's been there for a million years and we've had high
4 prices a number of times.

5 We assume, however, the reference case P50 cost
6 environment. But we assume a smaller North American
7 recoverable natural gas reserves base, cut it down from
8 325 cubic feet of crude reserves by 7.5 to 12.5 percent.

9 And also, to limit spending on development of
10 gas fields, we added in the 40 cents per thousand cubic
11 foot, shale gas operations and maintenance charge, and
12 20 cents for conventional gas that we have the high
13 price/low demand common case O&M assumptions.

14 And we cut the technology improvement rate to
15 0.5 percent.

16 And in that case we continue with the same
17 assumptions as the reference case, as you see.

18 Are there any questions? Very good. Thank you.

19 MR. RHYNE: All right, thank you, Peter.

20 So, we've covered a number of different cases
21 and I'm actually going to ask NRDC if they don't mind
22 going a little bit out of order as we get to our next
23 set of presentations.

24 So, we've covered a number of cases. First of
25 all, the IEPR common cases and, really, for those kind

1 of coordinated sets of assumptions and Peter's really
2 talked about three different scenarios that just look
3 out into the future and ask what if. What if we have
4 low innovation? What if California really pushes ahead
5 of the curve in terms of innovation -- sorry, in terms
6 of policy?

7 And, you know, this is all important, but as we
8 get to kind of the crux of where the conversation is
9 around natural gas, that typically brings us back around
10 to shale. And I can't tell you the last time I had a
11 conversation about natural gas that didn't at some point
12 touch on shale gas development.

13 So, we've moved the discussion of this topic to
14 being our last part of the day.

15 We have two presenters, one which, hopefully, is
16 on his way from the airport now, and not breaking any
17 speed laws by the way, and will be here shortly.

18 And so, we're going to go out of order from your
19 agenda just slightly. We have Miriam Rotkin-Ellman from
20 Natural Resources Defense Council to talk about
21 hydraulic fracturing and public health.

22 And then following her, hopefully very shortly,
23 we'll have Tim Kustic from California Department of Oil,
24 Gas, and Geothermal Resources.

25 And so, with that I'll turn it over to Miriam.

1 MS. ROTKIN-ELLMAN: Hello. Good afternoon.

2 Wow, so I am so short, which means that I can't see very
3 many of you behind -- over the screen.

4 Yeah, that's too bad. Otherwise, it's just a
5 voice behind a screen.

6 Thanks so much for having me. So, I'm Miriam
7 Rotkin-Ellman. I'm a public health scientist with the
8 Natural Resources Defense Council, NRDC. We're an
9 environmental advocacy organization.

10 And my guess is that you all probably are
11 familiar with and work with many of my colleagues who
12 work on energy policy in California.

13 I'm a public health scientist and my work
14 primarily focuses on just the public health impact of
15 environmental contaminants, whether that's from
16 industrial pollution, such as the case with hydraulic
17 fracturing, or whether it's associated with other types
18 of industry activity.

19 So, what I'm going to do really quickly here is,
20 figure out all the logistics, is talk about the rising
21 concerns from the public health community about
22 environmental exposures that could adversely impact
23 public health. And for communities adjacent to oil and
24 gas sites, and also for regional, and even global
25 impacts from the increased use of hydraulic fracturing

1 in oil and gas development.

2 And you'll see in my slides that there's a
3 number of different terms that get used somewhat
4 interchangeably. They all are somewhat indistinct, but
5 for the purposes of this conversation you may see me use
6 hydraulic fracturing, fracking, people talk about shale
7 gas development, unconventional oil and gas development,
8 natural gas development.

9 For now, just what I'm referring to is oil --
10 you know, oil and gas development in general. In this
11 case we're talking about natural gas, specifically,
12 that's using hydraulic fracturing as part of the
13 development process.

14 The concerns coming from the public health
15 community at this point range -- the Institute of
16 Medicine, last April convened a two-day conference of
17 experts talking about environmental exposures,
18 occupational exposures, public health concern associated
19 with the boom in natural gas development.

20 Other federal agencies, CDC, ATSDR, The National
21 Institute for Occupational Safety and Health have all --
22 have initiatives, the Environmental Protection Agency,
23 initiatives to both investigate, examine and express
24 concerns about potential contamination issues that may
25 adversely affect public health.

1 This is a quick overview slide and I'm going to
2 speak to the air quality, and water, and soil
3 contamination issues in more detail further in the talk.
4 This is just an overview of the types of public health
5 concerns including, you know, ranging from air quality,
6 and water and soil contamination, which are your more
7 typical environmental exposures, to some of the areas
8 which are very important from a public health
9 perspective, but don't often get discussed in the
10 environmental sphere, noise and light pollution.

11 This often is from -- and public safety issues.
12 Both of those reflect a industrialization of rural
13 areas, in many cases, that go along with the boom in
14 natural gas development associated with hydraulic
15 fracturing, such that you have industrial activity often
16 occurring in very proximate locations to people's homes.

17 Also, with an increase in truck traffic, traffic
18 patterns, and the risks of traffic accidents,
19 explosions, all of those are part of this sort of larger
20 public health sphere when talking about this activity.

21 So, to talk more specifically about the sort of
22 more typical environmental concerns, we'll start with
23 air quality.

24 When I think about the air quality impacts
25 associated with this natural gas development and

1 processing I divide it up to looking at the local level,
2 the regional level and the global level. The pollutants
3 act in different ways, there is some overlap among them,
4 but they -- in terms of thinking about the human side,
5 they act in different geographic scales.

6 So, at the local level we're worried about
7 diesel particulate matter, which has linked to
8 respiratory and cardiovascular impacts, coming from
9 large amounts of diesel trucks, construction equipment,
10 drill rigs, pumps, et cetera, air toxics that are
11 actually released both from the well, itself, and from
12 the associated processing equipment.

13 Silica sand, which is used as a proppant in
14 hydraulic fracturing process, it holds open the cracks.
15 Silica exposure is a known, actually quite well-known
16 occupational hazard in the mining industry. It causes a
17 progressive degenerative lung disease called silicosis.

18 At the regional level, compounds and nitrous
19 oxides are ozone precursors.

20 And at the global level methane contamination;
21 methane releases contribute to the overall continuity of
22 global warming, which has public health implications at
23 a global scale.

24 This is a slide that researchers from Carnegie
25 Mellon put together. It discusses some of the different

1 types of equipment and their associated air quality
2 impacts and emissions. I'll just highlight, since this
3 has come up in previous talks.

4 The designation there of the major and minor
5 sources are not in a regulatory context within the Clean
6 Air Act. Those are merely a relative indicator of
7 within, among those different types of equipment.

8 And you can see -- and I highlighted, because
9 just to differentiate between some of the local versus
10 the regional effects, the particulate matter and the air
11 toxics versus the NOx and VOCs.

12 And also, what you note in this slide is that
13 for some of these sources there is good data, or at
14 least what he referred to as medium quality data on
15 emissions, and some we know are likely impacts, but the
16 actual quantification is still relatively poor.

17 So, to speak a little bit to some of the known
18 hazards, this is an occupational alert that was released
19 by OSHA and NIOSH based on sampling that was conducted
20 at sites using silica sand as a proppant in hydraulic
21 fracturing, where they found high levels of silica, such
22 that there were concerns for occupational exposures.

23 And this alert was sent out to -- and it actually
24 contains a series of recommendations for best management
25 practices, both in terms of reducing the emissions of

1 the silica dust, which you can see in that photo, in
2 terms of control of OBN trucks in terms of sand
3 handling, and the like, as well as personal protective
4 equipment required for the workers to prevent unsafe
5 exposures.

6 What has not yet been evaluated is the degree to
7 which this presents a community health hazard.

8 As I said before, many of these sites are very
9 proximate to residential developments. And the buffer
10 zones or the set-back distances between homes can be as
11 small as 150 feet, such that what we might -- and
12 there's no building around these. So, what we might
13 consider a traditional occupational hazard also needs to
14 be evaluated in the community health sphere.

15 Looking at this, it's a 2011 *USA TODAY* headline,
16 "Wyoming's smog exceeds Los Angeles."

17 That's record levels of smog in a very rural
18 area that actually resulted in bad-air day warnings,
19 something never really heard of in rural Wyoming, where
20 school kids were warned to stay indoors and not exercise
21 outside. Something in California we do get on a
22 somewhat relative basis, depending on where you live,
23 but something actually, previously unheard of in
24 Wyoming.

25 And this has been tied to the boom of natural

1 gas development in Wyoming. This map is from a report
2 that was -- an assessment that was done by the Wyoming
3 Department of Health, where they looked at this record
4 level ozone level set during this time period and
5 correlated it with visits to health clinics for
6 respiratory problems.

7 So, the connection between ozone and emergency
8 department visits for respiratory problems is well-
9 established. What was interesting here is that the
10 connection was also seen in a very rural area, which is
11 very sparsely populated, which is often very difficult
12 to measure. So, it's a significant impact.

13 And in this map here those brown dots are the
14 wells. There's a link there at the bottom, if you want
15 to read the actual report.

16 So, a bunch of new studies in the past year have
17 examined the VOC emissions as ozone precursors. That
18 top study was done at the Marcellus Shale, in
19 Pennsylvania. The Environmental Science and Technology
20 Report was done in Colorado.

21 And what's notable about the Colorado study, in
22 particular, is that they have looked at the relative
23 ratios of the different volatile organic compounds and
24 compared them to raw gas emissions. So, they're
25 actually able to identify a gas signature in the levels

1 of the various volatile organic compounds, and able to
2 do some source attribution at their regional monitoring
3 stations.

4 And so, the conclusions in this study were that
5 somewhere in the order of 55 percent of the ozone
6 precursors measured at that monitoring station were
7 likely from oil and gas development.

8 So, a significant source and with potentially
9 significant consequences for the region, which is the
10 eastern slope of the Rockies, in an area that has -- is
11 already of concern in terms of air quality.

12 In the other piece, I'll note the same thing in
13 the Pennsylvania study, which is that both -- a lot of
14 these studies looking at ozone precursors have noted a
15 few different things.

16 For air basins that are already impaired, this
17 presents new -- oil and gas development presents an
18 additional burden in terms ozone precursors.

19 For areas that are maybe a little marginal, this
20 new development could actually push them over into the
21 impaired status.

22 In the past year, the U.S. Environmental
23 Protection Agency has begun regulatory efforts to
24 require emission controls. These are only on new
25 sources and they don't begin until 2015.

1 So, there's a number of -- there still remains a
2 gap in terms of the ongoing pollution from these sources
3 that is not controlled through the Federal regulations.

4 At the local level there also have been some
5 studies looking specifically at, you know, the other
6 realm of air toxics, and for this portion we're talking
7 about the benzene toluene, the benzene xylene range,
8 formaldehyde, et cetera.

9 This is a study that was done in Colorado,
10 again, and what they found, the proximity to well sites
11 linked to increased levels of contaminants and health
12 risks.

13 I highlighted to findings here, specifically
14 looking at xylenes where they found a nine-fold increase
15 at the monitoring conducted proximate to the well
16 location as opposed to the regional monitoring conducted
17 further away.

18 And at the well site these researchers conducted
19 a risk assessment to look at the health implications of
20 the contaminate levels and found elevated risk for
21 respiratory and neurologic impacts.

22 It's important also to highlight this particular
23 finding. In the absence of specific exposure assessment
24 information, i.e. monitoring conducted where an
25 individual lives, it's very difficult to draw a

1 connection between health impacts and the exposure --
2 you know, and what might have caused that.

3 But it is important to note that a study like
4 this identified respiratory and neurologic impacts as
5 the elevated risk of respiratory and neurologic impacts
6 which is consistent with many of the same types of
7 health impacts that communities, impacted by high levels
8 of new oil and gas development, are complaining about.

9 And I think as we go forward, we're going to
10 continue to see these types of linkages between our
11 exposure studies, our risk studies, and our health
12 information.

13 Switching to water quality from the air world, a
14 number of different sources of potential water
15 contamination associated with hydraulic fracturing. At
16 the surface level, waste disposal, whether that's water
17 or solid waste, has a potential for impacting both
18 surface and groundwater resources.

19 Spills, source depletion refers to the large
20 amounts of water drawn out of aquifers, which can result
21 in migration of other contaminants or result in shifting
22 concentrations of environmental -- of contaminants in
23 the aquifer, or even a draw down from the surface water
24 into a subsurface aquifer.

25 In the subsurface there are a number of

1 different potential mechanisms by which groundwater can
2 be contaminated, faulty well construction, faults and
3 fractures being a conduit from one aquifer to another,
4 or from the subsurface to a water -- an aquifer used for
5 drinking water.

6 Old wells that have not been plugged properly
7 can present a conduit for contaminants.

8 And fracturing that extends outside the intended
9 formation can also result in a pathway by which
10 contaminants can reach a drinking water resource.

11 The contaminants that have been raised of
12 concern, methane, which is both an asphyxiation and an
13 explosive hazard, other hydrocarbons, your benzene
14 toluene, benzene xylene, contaminants, radioactivity,
15 metals.

16 And then I put "other" with a question mark
17 because of the lack of transparency on all of the inputs
18 that go into using the hydraulic fracturing process,
19 such that we don't actually know all the chemical
20 constituents of some of the fluids that are used, and
21 some of the processes. We don't actually know exactly
22 what we might be testing for when we're looking at
23 potential contamination, so that's a question mark.

24 When it comes to the drinking water
25 contamination issue, there is basically both the concern

1 of globalization of contaminates that already existed in
2 the subsurface into a drinking water resource, and
3 introduction of new contaminants down into the
4 subsurface that can then also contaminate groundwater.

5 A recent study that looked at this was conducted
6 by some researchers in Duke. And the study was done in
7 New York and Pennsylvania. It found an association
8 between shale gas extraction and methane contamination
9 of drinking water.

10 On the axis there is the distance from a well,
11 and the Y axis is the methane concentration found in
12 drinking water.

13 The triangles reflect what drinking water wells
14 that were sampled in areas where there was not ongoing
15 shale gas extraction, and the circles represent ones
16 that were taken where there is currently ongoing shale
17 gas extraction.

18 That shaded area reflects a level of concern for
19 methane in drinking water. The Department of the
20 Interior uses a 28 -- what's the unit here? Yeah, parts
21 per million, milligrams per liter, as a cutoff for
22 immediate intervention. The 10 to 28 milligrams per
23 liter is an area of concern and below that in the no-
24 action level.

25 So, to note here, the concerns are both that we

1 see an association in terms of proximity to active shale
2 gas extraction and also that some of the levels measured
3 in these wells meet the criteria of an explosive hazard.

4 Government agencies have also been involved in
5 investigating contamination issues and public health
6 impacts. The Agency for Toxic Substance Disease
7 Registry, which is part of the Department of Health and
8 Human Services, has done something, what they call
9 health consultations.

10 This one was done in Garfield County, Colorado,
11 and found elevated benzene levels in the area of well
12 sites.

13 There's an ongoing Environmental Protection
14 Agency, the U.S. Federal Environmental Protection Agency
15 investigation into groundwater contamination in Wyoming,
16 where both methane and hydrocarbons were detected both
17 in shallow water, and also in deeper drinking water
18 resources.

19 This here is the title for a *Medical News and*
20 *Perspectives*, in the *Journal of the American Medical*
21 *Association*, or JAMA, and it says, "Rigorous evidence
22 slim for determining health risks from natural gas
23 fracking."

24 And it speaks to major data or information gaps
25 that are needed in order to really understand health

1 impacts.

2 So, I've highlighted a few of these needs here.

3 A need for a comprehensive chemical disclosure so you
4 know what types of contaminants are being introduced,
5 potentially, into the environment, the monitoring of
6 emissions, releases and waste.

7 Because many of the wastes are currently exempt
8 from some of our standard environmental laws we don't
9 have very good monitoring data on what's being emitted,
10 nor do we have it actually on ambient or targeted
11 monitoring.

12 So, when I refer there to targeted monitoring,
13 it is the kind of monitoring that you go out and sample
14 an individual's well, or the air quality around an
15 individual home.

16 Ambient monitoring, I'm referring to ozone
17 monitoring networks, many of which are not located in
18 these rural areas most impacted by this boom in oil and
19 gas development.

20 The same thing in terms of the lack of good
21 surveillance network for groundwater quality in rural
22 areas, and so we don't have the essential information to
23 understand when there might be a contamination issue.

24 And lastly, I've highlighted here the need for
25 health impact surveillance. Surveillance is the public

1 health term for monitoring. So, that's where we're
2 looking for those indicator health impacts, the spikes
3 in emergency room visits, the visits to the clinic, the
4 early warning signs that we might be seeing in the human
5 population in terms of health impacts.

6 And there are also -- you know, that was sort of
7 the data information gaps.

8 There are policy gaps that also are contributing
9 to the threat to public health. Oil and gas development
10 have a number of different exemptions from our Federal
11 environmental laws. They're listed here.

12 Safe Drinking Water Act, Clean Water Act, Clean
13 Air Act, RCRA, NEPA.

14 These exemptions have contributed to the lack of
15 good monitoring data and good emissions data and which
16 severely hampers our ability to understand the public
17 health impacts. And it severely hampers the ability for
18 local or regulatory -- our State agencies to answer the
19 questions when communities come to them with concerns
20 about their health, when they have a well 300 feet, 500
21 feet from their home.

22 Similarly, we have a -- with the lack of the
23 Federal, of good Federal laws, we have a patchwork of
24 state regulations across the country resulting in really
25 very low level of protection provided to communities,

1 both in terms of the requirements for distances from
2 wells, to sensitive sites, which are homes or schools,
3 and also in terms of resources available to respond to
4 spills, to events, to emergencies, to the regular
5 monitoring, to investigating violations, and the like.

6 A recent analysis was done out of the -- I
7 believe he's on the University of Pittsburgh, the School
8 of Public Health, on some of the Federal Advisory
9 Committees that have been set up to examine the
10 hydraulic fracturing in oil and gas development
11 significantly lacked individual public health expertise.

12 And although it's incredibly important that
13 those advisory panels are part of the public discourse
14 in the policy setting, and many of them include experts
15 in environmental examinations, it's also very important
16 to have folks from the public health world as part of
17 those policy discussions.

18 And, lastly, in my conversations with
19 researchers across the country working on this, and
20 we're seeing -- we're beginning to see more
21 comprehensive research, but it's essential that we have
22 adequate funding for the research that will provide the
23 answers to the questions that are on the minds of any of
24 the communities living adjacent to this new development.

25 So, lastly, just a series of recommendations for

1 the protection of public health and safety; we really
2 need a comprehensive assessment of environmental and
3 health threats.

4 These are not -- you know, we do not currently
5 have this information. I've identified a number of the
6 information and policy gaps that we are faced with right
7 now, meaning that we don't have good information in
8 order to assess the potential repercussions from a
9 public health perspective.

10 And we have a number of studies that point to
11 significant threats and that's a bad combination, in my
12 mind, in terms of protecting public health.

13 We need strong Federal and state policies to
14 prevent damage to the environment and public health.

15 So, these are all things that I've just been
16 speaking about, improved monitoring of contaminant
17 emissions and environmental conditions and, lastly,
18 increased funding for research, investigation, studies
19 and surveillance.

20 And I'm happy to answer any questions.

21 MR. RHYNE: All right, thank you very much, very
22 much appreciate it. I'm sure we'll have some more
23 questions as we go.

24 WE do have our next presenter here in the house.
25 It will just take us a moment, I think, to get his

1 presentation loaded up. We have Tim Kustic from the
2 California Department of Oil, Gas, and Geothermal
3 Resources here with us today.

4 So, let me -- if I can see. Here we go.

5 So, as I'm sure some people are aware, here in
6 California we do have oil and a small amount of gas
7 reserves that are extracted using a hydrofracturing
8 technique.

9 And the Department of Oil, Gas, and Geothermal
10 Resources has responsibility for regulating that
11 activity. And they're working on some proposed
12 regulations and so we've asked them to come and talk
13 about that this afternoon.

14 So, Tim, I think the floor is yours, sir.

15 MR. KUSTIC: Okay, thank you. It's just one
16 correction, it's I'm actually with the Department of
17 Conservation, the Division of Oil, Gas, and Geothermal
18 Resources. That's all right.

19 Well, thanks for inviting me here today. Before
20 I start talking about the draft regulations, I just want
21 to give you an overview of hydraulic fracturing in
22 California because it's significantly different than
23 what you hear about in most of the media.

24 In California, hydraulic fracturing's been used
25 for 50 years to stimulate oil production. It is not

1 used for dry shale gas production. And that's -- I know
2 this is a seminar about gas, but when it comes to
3 hydraulic fracturing in California, it's all about the
4 oil, rather than the gas.

5 So, just kind of a quick review of hydraulic
6 fracturing -- okay, so the mouse isn't working.

7 So, assuming this here is a productive interval,
8 maybe this one, this one, and perhaps even something
9 down here. Historically, in California what hydraulic
10 fracturing, and even today, what it's being used for is
11 to go into a conventional reservoir, that is a reservoir
12 like this that has -- this is a simplified reservoir
13 but, basically, it's a reservoir that has some kind a
14 structure, in this case it's an incline, that's trapping
15 oil.

16 And in some reservoirs you have a gas layer on
17 top of the oil but this one, just for simplicity, just
18 has oil.

19 But there's some kind of a bend, or fold, or
20 faults, as an example, that is causing traps of oil and
21 that's called a conventional reservoir.

22 So, operators will go in and fracture stimulate
23 one of these intervals, generally vertical wells, and it
24 will be stimulated at perhaps 30 feet, maybe 100, 150
25 feet and fracture stimulate that interval for -- the

1 fracture stimulation operation may take 20 minutes, it
2 may take an hour or two.

3 And then they'll put the well into production
4 for perhaps the next 20, 30 or 40 years. Generally,
5 it's a one-time operation as part of the completion and
6 stimulation of a new well.

7 That is a lot different than what has gotten a
8 lot of attention throughout the country.

9 Now, as I indicated before, they use it in
10 California for conventional reservoir, pretty much in
11 the existing oil fields. The oil field's there because
12 that conventional structure was there, the well needs to
13 be stimulated to increase production.

14 What's happening in places like Pennsylvania and
15 New York is a technology -- two technologies that have
16 been around a long time in the oil field. One is the
17 ability to directionally drill. That was refined to the
18 point where they can take a hole and turn it from
19 vertical to horizontal, and drill it up to two miles
20 long and more horizontally.

21 That's very helpful when you have long,
22 horizontal shale beds that have gas contained within the
23 fore structure and you want to access as much of that
24 shale rock as possible.

25 So, they've taken that technology and then with

1 the advances in hydraulic fracturing, again the
2 technology's been around more than 48, 50 years, they
3 can fracture stimulate, over the course of many days,
4 this long, horizontal section, fracture stimulate
5 perhaps 10,000 feet of reservoir rock.

6 That's a huge amount of reservoir to be
7 stimulated and we don't have operations like this in
8 California.

9 This is also an unconventional plate. That is
10 there wasn't previously -- in most of these areas there
11 wasn't previously a conventional reservoir, so there
12 wasn't an oil and gas industry developed.

13 So, industry is coming into areas that now, with
14 this key to unlock shale gas, they're coming into areas
15 that didn't have an oil and gas industry. They're
16 putting in well paths, they're putting sumps and pits in
17 places, they're using some significant water resources
18 to fracture stimulate.

19 To fracture stimulate a 10,000-foot section it
20 could take, you know, 2 million, 5 million, up to I
21 think the highest I've heard is 13 million gallons of
22 water to fracture stimulate that.

23 The largest frac job that we know of in
24 California is 1.5 million gallons. The average frac job
25 in California is about 250,000 to 300,000 gallons of

1 water.

2 Just to give you some reference, an average
3 hotel swimming pool is probably about 250,000 gallons of
4 water. An Olympic-sized swimming pool is about 600,000
5 gallons of water.

6 So, the magnitude of water being used for shale
7 gas development is, you know, incredibly large compared
8 to a typical frac job in California.

9 Additionally, ever well that is drilled into a
10 shale gas reservoir has to be fracture stimulated,
11 otherwise it's not economic.

12 In California, the vast majority of wells are
13 not fracture stimulated. The vast majority of oil
14 deposits in all reservoirs, oil fields don't need
15 fracture stimulate to produce.

16 In California, we're drilling about 2,500 to
17 3,000 new wells a year. And based on the data we have
18 now, it looks like about 700 wells a year are being
19 fracture stimulated in the State, so it's a subset of
20 the wells.

21 So, there has been talk of the Monterey Shale.
22 The Energy Information Administration came out and said
23 there's up to 15 -- there could be up to 15.4 billion
24 barrels of recoverable oil in Monterey Shale. The
25 Monterey, itself, has been productive for many years.

1 It is productive for its tracked-through conventional
2 mechanisms and it's also the source rock. That would
3 make it a reservoir rock if the oil is trapped in the
4 Monterey, itself. It's also the known source rock for
5 most of the reservoirs.

6 That is the oil was formed in the Monterey and
7 then over eons of time it migrated up and was trapped in
8 the higher reservoirs, in conventional reservoirs. But
9 most of the oil in California came from the Monterey.
10 So, the Monterey has been studied and is well known.

11 What could be coming our way, and certainly is
12 not here yet, industry could be -- they're already
13 looking into can they use horizontal wells and can they
14 use larger hydraulic fracture stimulation operations to
15 kind of unlock the key in the Monterey?

16 The Monterey's already fractured, it's a
17 naturally fractured reservoir, the shale's been
18 naturally fractured.

19 And the current production in the Monterey is
20 from those fractures in the shale.

21 So, industry's saying, they're looking into to
22 determining whether or not if they fracture stimulate,
23 they can get more production out of the Monterey.

24 To date there hasn't been a big increase in
25 hydraulic fracture stimulation in the State. There has

1 not been a big increase in production. There has not
2 been a big increase in wells drilled. But the potential
3 is out there, we realize that, and that's why we're
4 moving forward with some regulations.

5 Existing regulations, which there are plenty in
6 California when it comes to oil and gas, but the ones
7 that we carry out now deal mainly with the well
8 construction. That's the requirement to have casing,
9 have the casing cemented, and to have tests of this to
10 make sure it has integrity.

11 It requires the protection of fresh water.
12 We've had requirements for the protection of fresh water
13 for nearly a century in the State, through oil and gas
14 operations.

15 So, this well construction and standards applies
16 to all wells. Not just the subset of wells that
17 hydraulic fracture stimulate, it applies to every well.
18 Every well has to have this robust well construction.

19 In some states of the country they've recently
20 passed what they're calling hydraulic fracture
21 stimulation regulations. And what they are, they're
22 passing regulations similar to this that we've had on
23 the books for many, many years.

24 We've also heard comments -- I'll talk about the
25 regulations in a minute, but we've had multiple

1 workshops and people have said, well, how come your
2 regulations are only nine pages and New York's is 50, or
3 60, or 70 pages?

4 Well, you know, California, unlike a lot of
5 other states, if you had an industry representative
6 here, I don't know if there is one, but they could
7 probably give you a ballpark idea of how many different
8 regulatory agencies there are in California when you go
9 to drill a well.

10 In California, our hydraulic fracturing
11 stimulation regulations are only going to deal with our
12 authority. In other states, hydraulic fracturing
13 regulations may be dealing with groundwater use, where
14 they're getting their resources, air emission issues,
15 and air quality issues, land use issues. Those are all
16 outside of our authority.

17 So, our regulations, just based on the nature of
18 the two different state governments, our regulations are
19 probably going to be smaller than a lot of other states
20 because the way the government is structured in
21 California there's multiple agencies regulating the oil
22 and gas industry. And our regulations are going to be
23 very specific to well construction into the subsurface.

24 So, we do have -- you know, hydraulic fracture
25 stimulation is not unregulated in the State. Every well

1 in the State is regulated, including those that are
2 hydraulic fractured stimulated.

3 What we don't have is we don't have real good
4 data on the practice because it's well stimulation.
5 It's not a change in the mechanical condition of the
6 well. And when you fracture stimulate, that's what's
7 represented here by these cracks, in this diagram, the
8 well is already perforated, the casing is already set.
9 The setting of the casing, the perforating of the well,
10 or any plugging of the well with cement all requires a
11 notice and permit, so we have data on that.

12 Well stimulation and hydraulic fracturing is
13 only one method of well stimulation. It does not
14 require a permit. It's not in the law, it's not in the
15 regulations.

16 So, that's why when folks ask us how many wells
17 have been hydraulic fracture stimulated, we can't push a
18 button on our database and say this is how many.

19 We're starting to capture that data now. We've
20 been doing it for over a year on our data management
21 systems.

22 And we went out to industry and we asked them to
23 voluntarily start reporting, on FracFocus, their
24 operations. And the last time I looked, I think there's
25 over 800 frac jobs now reported on FracFocus.

1 And, of course, that's just voluntarily because
2 we need the regulations in place before we can require
3 it of industry. But that's where we are headed.

4 So, on this path, which we started more than a
5 year ago, we started by going around the State and
6 holding seven information-gathering workshops, where we
7 met in the evenings. I think they were two-and-a-half
8 to three-hour meetings.

9 We invited the public in. We explained
10 hydraulic fracturing in California, much as I just did.
11 And then we asked them for their input, their concerns,
12 the topics they'd like to see discussed in our
13 regulations.

14 And, of course, we heard a lot more than what we
15 had authority to. We heard things like, well, you need
16 to find out where all the water is coming from. Well,
17 that's beyond our authority, we're not a water
18 management agency so we can't put in regulations to tell
19 us where you get the source of water to do the fact job.
20 We don't have the authority to do that.

21 So, we took input from interested parties. We
22 had workshops in Bakersfield, Ventura -- well, pretty
23 much all of the oil producing provinces, Bakersfield,
24 Ventura, Long Beach, Culver City, so we did two in the
25 L.A. Basin, Sacramento, Salinas, we did Salinas, and

1 Monterey.

2 So, after that process, which ended late last
3 summer, we sat down and we wrote what we called a
4 discussion draft of the regulations. And that we
5 released mid-December of last year.

6 And then we started in, I believe it was
7 February, though it may have been late January, but I
8 believe it was February we started having workshops,
9 now, to discuss the discussion draft of the regulations.

10 And these were running for about seven or eight
11 hours. We did one in L.A., Bakersfield, Sacramento,
12 last week we were in Santa Barbara and next Tuesday we
13 will be in Monterey. Those are the -- that's the last
14 scheduled workshop.

15 In addition, of course, we encourage people to
16 send us comments, you know, via e-mail, or you can
17 simply write them to us.

18 So, in these workshops we're going step by step
19 through these regulations that we're going to discuss,
20 now, and I'll -- that's what I'm going to go through now
21 is the regulations, what we have in the discussion
22 draft.

23 And I'll give you some idea of some of the
24 feedback here.

25 So, the first part, this is not necessarily how

1 -- if you have downloaded our regulations, they're
2 on our website, but I didn't bring the regulations. I
3 didn't want to sit here and read the regulations. I
4 figured I would put everyone to sleep at this hour.

5 And so, I'm using the Power Point that just has
6 the highlights.

7 But the regulations are on the website and you
8 can download and print them. But this Power Point
9 doesn't necessarily follow the regulations in the path
10 they are written. We've covered it more logically in
11 the course of what would happen in the process of making
12 sure you comply with these regulations before you do the
13 process of hydraulic fracture stimulation.

14 So, the regulations require before the operator
15 can even, you know, consider having equipment out there
16 on the site, they have to do, you know, a fracture
17 radial analysis. And that's where they look at the
18 fracture that they propose to conduct on the well.

19 Well, the start with the well bore. They look
20 at the well bore and they make sure that the well bore
21 has good cement, that the casing can hold the pressure.
22 You're probably going to do the casing pressure test,
23 though, once you -- well, you probably have recently
24 done one. In most cases in California, because most of
25 the wells that are fracture stimulated are new wells.

1 So, you do want, when you first put the casing
2 in the well, but before you actually start pumping on
3 the frac job you have to do another one, essentially.

4 But this fracture radial analysis is you look at
5 the well bore, you model whatever the model for the
6 fracture is. You know, whether it be 200 feet or 1,000
7 feet, the operator has to double that distance, and
8 evaluate the area around that to make sure that there's
9 no abandoned well bores or even active well bores that
10 might be a conduit for the fracture to reach that, and
11 then somehow migrate somewhere.

12 They have to look for if there are any faults
13 there, is it a ceiling fault? Is there any possibility
14 that the amount of pressure reaching the fault, if it's
15 an active fault, could stimulate the fault?

16 Or any other subsurface geologic condition that
17 could be of concern. So, that has to be done.

18 Basically, that has to be submitted to us -- oh,
19 I should -- in the next section we'll talk about that.

20 So, they have to do the fracture radial
21 analysis. They have to evaluate the cement job on the
22 well, and then they have to pressure test the well. And
23 they have to pressure test all of the surface equipment
24 before they start actually pumping the fracture
25 stimulation job into the well.

1 So, this second section we covered, and this is
2 in the discussion draft regulations. Again, we haven't
3 even started the formal rulemaking, yet.

4 But they have to give us at least ten days'
5 notice prior to conducting the hydraulic fracture
6 stimulation. And that ten days comes from the notice
7 and permit cycle that's been in the statute for many,
8 many years. That's when they're going to rework a well
9 or drill a well.

10 The current practice is they give us ten days,
11 we evaluate the notice and we either respond back that
12 here is your permit, or we respond back it's going to
13 take us longer, or this is deficient for this reason,
14 but we have to respond in ten days.

15 So, that's where this ten days came from. And
16 we're hearing a lot of comments about the ten days that
17 it's insufficient. Because what we're hearing, and this
18 is something different than what we do in the normal
19 permitting operations within DOGGR, what we're hearing
20 is, well, for public input and public comment, you know,
21 that's usually 30 or 60 days.

22 So, this ten days, we've already heard a lot of
23 comments and that's more likely going to change to
24 address the input that we're receiving. And that's
25 where the ten days comes from.

1 And then, once we get to the, what we call the
2 HF1, which is the new form that the operator would
3 submit, along with that fracture radial analysis, and
4 the cement bond logs, all of that data that was required
5 earlier, they submit it along with this HF1.

6 And then we're going to post that HF1 out on our
7 website, so any interested party can take a look at it.

8 And then, prior to actually conducting the
9 fracture stimulation operations, the operator has to
10 give us at least 24 hours' notice so that we can have
11 our field engineers out there. And that's -- 24 hours
12 is more than adequate for that. Quite commonly, we only
13 get three or four hours' notice for some operations.

14 The Division has field engineers on call 24/7
15 to, you know, respond to various field tests, so this
16 would just be another field test that they're out there
17 witnessing.

18 And for the most part fracture stimulation is
19 not done -- it tends to be done Monday through Friday,
20 during daylight, just because it's one of these
21 operations that you have more control over versus
22 drilling a well. When you drill, you have to do it all
23 24/7, so scheduling will probably be a little bit easier
24 for these, for us witnessing these tests.

25 So, once they're out there doing the fracture

1 stimulation, we're going to require continuous
2 monitoring of things like pressure rate, and proppant
3 concentration.

4 And then, if there's some kind of upset from
5 what should be expected, then the operator has to, you
6 know, investigate that. You know, shut down operations,
7 figure out what happened.

8 If there was some kind of a breach in the casing
9 that led to a failure, then they would have to stop and
10 they would have to address that, remediate it before
11 they can go any further.

12 And then after the fracturing, operators right
13 now have to tell us the amount of oil, water and gas
14 produced in wells, and they report that to us monthly.

15 But in these regulations they have to monitor
16 that daily for the first 30 days, and then monthly for
17 five years after that. And they have to maintain
18 records of their monitoring.

19 Not necessarily that it has to be reported to
20 us, but if we need to investigate, they have to have the
21 records available.

22 And we're getting various comments on a number
23 of these items.

24 The disclosure, this has been a hot topic, the
25 disclosure of the chemicals used in hydraulic fracturing

1 operations. Right now, operators are voluntarily using
2 FracFocus and the model we've come up with in these
3 discussion draft regulations requires operators to use
4 FracFocus.

5 Now, FracFocus was developed by the Groundwater
6 Protection Council. And the Groundwater Protection
7 Council is a council of state regulatory bodies that are
8 involved with either groundwater monitoring, groundwater
9 production, groundwater regulation. It's not industry.
10 It's a number of States, California's a member. And, in
11 fact, I sit on the Board of Directors of the Groundwater
12 Protection Council.

13 FracFocus was also developed with the Interstate
14 Oil and Gas Compact Commission, which is a compact of
15 those states that have oil and gas production. The
16 Governor is a member. Mark Nechodom is his appointee.
17 Mark Nechodom is the Director of the Department of
18 Conservation, essentially my boss, and he sits on --
19 well, he's essentially appointed to the Interstate Oil
20 and Gas Compact Commission.

21 So, it was these two bodies that are -- that
22 have oil and gas production within their -- well, they
23 don't have it -- excuse me, let me start over again on
24 that.

25 States with oil and gas production are members

1 of these two organizations, the Interstate Oil and Gas
2 Compact Commission and the Groundwater Protection
3 Council.

4 So, it's the states that have really come
5 together and created FracFocus.

6 There's been a lot of comments about should we
7 be using FracFocus or should we be using some state
8 database?

9 The beauty about FracFocus is it's there now, we
10 don't have to build it.

11 If any of you, in the course of your career,
12 have been involved in building a state database system,
13 I have to some extent, and I can tell you having
14 something right now that you can use is a lot better
15 than starting at square in the State system to build a
16 database.

17 The regulations do indicate, though, if
18 FracFocus isn't available, then the State has to develop
19 their own system.

20 But the model we have right now is FracFocus
21 first. And, of course, that could change during all of
22 the discussions.

23 Trade secrets, this is something that's well
24 beyond our authority. We do not control trade secrets.
25 But some of the service companies that are supplying the

1 frac fluid and conducting the fracture stimulation
2 operation are -- they have trade secret protection for
3 some of the -- for the recipes for some of the chemicals
4 that they use to give the frac fluid the properties
5 necessary for a successful frac job.

6 So, our regulations and FracFocus require you to
7 give the chemicals, the chemical family, but the actual
8 recipe, if it's a trade secret, it's just going to be
9 indicated like it is now, and FracFocus is the trade
10 secret.

11 The regulations do go further, though. They say
12 that if we need that trade secret information to
13 investigate a spill, an unauthorized release, we can get
14 it.

15 It also says that if some other agency, say the
16 Regional Water Board needed it, they can get it.

17 It also goes on to indicate that if medical
18 professionals, I'm not sure -- I thought that was on
19 there somewhere.

20 But if medical professionals need it, they can
21 get it, too.

22 And then there's provisions for in the event of
23 an emergency, for medical treatment that, essentially,
24 they could get it right away and then the paperwork
25 would have to follow kind of behind it.

1 But it does require that if it's released -- oh,
2 there's the medical part. If it is released, then it
3 has to be maintained as confidential.

4 So, if it was supplied to a medical provider,
5 they would have to sign some kind of a confidentiality
6 agreement.

7 And this is all trying to fit in with the trade
8 secret protection. DOGGR and the State does not want to
9 get caught in a lawsuit where they've provided something
10 to us that's a trade secret, and now we have a Public
11 Records Act request that, potentially, we would have to
12 divulge a trade secret and now we're going to be hit by
13 a lawsuit from a service company. That would be very
14 problematic.

15 So, our attorneys are working carefully on this
16 section to make sure that we're not exposing the State
17 and the Department to some kind of major potential
18 liability.

19 The storage and handling of hydraulic fracturing
20 fluids, for the most part this section kind of follows
21 up or it just reaffirms what's out there right now in
22 various regulations.

23 There's already regulations that have a spill
24 plan that addresses the fluids that are on the site.

25 So, if hydraulic fracturing fluid is out there, it has

1 to be addressed in the spill plan. It has to have
2 secondary containment if it's not fresh water. It has
3 to be cleaned up. These are already requirements that
4 are in the existing regulations.

5 It can't be stored in any unlined sump. I don't
6 think that's standard practice in California. Actually,
7 sump usage for this is not a standard practice in
8 California, anyhow, so I don't think that would be much
9 of a challenge.

10 But there's a couple things that come into play
11 here when you talk about handling the hydraulic
12 fracturing fluids that are significant -- in California,
13 they're significantly different than when you're doing
14 dry shale gas that I want to point out.

15 In California, as I indicated, hydraulic
16 fracture stimulation is used in existing oil fields.
17 Existing oil fields, the fluid coming to the surface is
18 anywhere from -- if they're lucky, it's 50 percent oil.
19 But it's usually, you know, 90 to 96 percent brackish
20 water. Water that's not -- except for in a few fields
21 where they can actually clean it up and use it for other
22 purposes, most of this water is ITS water that's just
23 re-injected.

24 So, when you fracture stimulate in California,
25 first of all, you're not going into a rock that's dry,

1 that doesn't have any fluid in it. So, when you put
2 fluid in to fracture stimulate, you need less of it.
3 But that fluid is injected, it fracture stimulates the
4 rock, you put the well in production and that fluid
5 comes back along with the produced water, along with the
6 produced oil.

7 It then goes into the production system which,
8 in California, is an enclosed system. I mean, it goes
9 down flow line, to a separator, the fluids are separated
10 out and the water is re-injected for pressure
11 maintenance, that's the most common use, or it's sent
12 over to a disposal well for disposal.

13 That's a lot different than when you're doing
14 shale gas and you build an infrastructure in a gas field
15 that you know is not going to have water production.
16 The only water that's ever produced is the water that
17 you take out there to fracture stimulate. So, you're
18 not building an infrastructure for water production
19 because you're not -- when you produce this well for the
20 next 10, 20 years, you're not going to have water
21 production.

22 So, when they flow back a dry shale gas well,
23 you have a large amount of water that comes back and has
24 been, I'm not sure what the practice is in every state
25 and I know they're trying to get away from this, but in

1 many cases it's put into a pond, hopefully, a lined
2 pond. And the methane that's with that water, because
3 you fracture stimulated a rock that had methane in it,
4 is just allowed to escape.

5 That doesn't happen in California. We don't --
6 many of our districts wouldn't allow anything close to
7 that happening.

8 In California, it comes back to a production
9 system where any gas is scrubbed off, any oil is sent to
10 production and the water is re-injected.

11 So, it's a lot different when you're talking
12 about dry shale gas versus hydraulic fracture
13 stimulation for oil production in California.

14 And even looking forward, what's the -- I guess
15 the information that's out there, that has risen, that
16 has drawn some concern is this idea that in the future
17 the Monterey is going to turn into, you know, a real
18 game changer, potentially, in California.

19 But if you talk to the industry, you're still
20 looking at the Monterey for oil, not for gas. So, it's
21 still going to be an oil field production system where
22 it's pretty much enclosed.

23 So, I don't see the unlined sump storage being
24 much of a challenge for industry to overcome because I
25 don't think, for the most part, produced frac fluid,

1 when it comes back is not put into pits currently. And
2 I don't envision that being a common practice in the
3 future.

4 The other thing that's a bit different with oil
5 production versus dry shale gas is that dry shale gas,
6 when you produce back and you get the fluid back you
7 know it's frac fluid because there was no other fluid
8 out there.

9 That's not the case when you're talking about
10 oil. Like I said, 90 percent of it is fluid. So,
11 you've injected water into high TVS water and when you
12 bring it back it's really hard to tell what is frac
13 fluid and what is not. I mean, unless you have some
14 kind of a tracer in there you would have a hard time
15 identifying the frac fluid from the produced water.

16 And some people have characterized the spent
17 frac fluid as waste. That's not always the case. In
18 many oil fields in California they -- every bit of water
19 that they produce they re-inject to maintain the
20 reservoir pressure. They actually buy water, fresh
21 water, or not so fresh water, and re-inject it to
22 maintain the reservoir pressure.

23 So, you've fracture stimulated perhaps with
24 300,000 gallons of water and you put it down the well.
25 When that comes back the industry would not, in some

1 cases, characterize that as a waste fluid. They would
2 consider that as a viable product they could use for the
3 water flow.

4 So, things are a little bit different in
5 California when you're talking about hydraulic
6 fracturing for oil versus shale gas.

7 But, certainly, we know that there is the
8 potential for a greater use of hydraulic fracture
9 stimulations so want to make sure that we have
10 regulations in place that captures the best practice of
11 the industry to make sure we know where it's going, to
12 make sure things are being operated correctly.

13 We want to make sure that we're out there and
14 being able to witness it.

15 I think one of the reasons we haven't seen any
16 problems from hydraulic fracture stimulation in
17 California, even though it's been used for 50 years, one
18 of the big reasons is that it's a huge financial
19 investment for the operator. And that, alone, is an
20 incentive to do it right and do it correctly, because if
21 you don't, you risk the potential of damaging your well
22 or, basically, wasting a lot of money that you just
23 spend to fracture stimulate because you didn't do it
24 correctly.

25 So, I think that's really helped with the

1 practice not being a problem so far.

2 I think that's all I have for slides. Yes. So,
3 is there questions or -- okay.

4 MR. BRATHWAITE: Again, thank you for that
5 presentation. One of the big issues that have come up
6 as a result of hydraulic fracturing, well, mostly
7 outside of California, but I'm sure it will arise here
8 in California, too, is the potential for groundwater
9 contamination.

10 Can you give us any idea of if your department
11 have heard of cases of that happening here in California
12 or as a result of hydraulic fracturing, where we've had
13 cases where the water has actually been contaminated as
14 a result?

15 MR. KUSTIC: As a result of hydraulic
16 fracturing, no. But we're not aware of any cases where
17 hydraulic fracturing has led to contamination of the
18 aquifer.

19 You have to remember that in California we
20 have -- we've drilled over 215,000 wells in the State.
21 So, although hydraulic fracturing is just a well
22 stimulation that, you know, takes an hour over the
23 course of many decades of well operations, most of the
24 wells are out there moving fluids back and forth through
25 that freshwater aquifer behind steel casing, steel

1 tubing and cement. That's been going on for a century
2 in California.

3 So, the idea that hydraulic fracturing, which is
4 just a tiny subset of the fluid that's moved up and down
5 sells in the State, you'd be looking -- essentially,
6 you'd be looking for the needle in the haystack. Of all
7 the water that's injected in the State annually, which
8 is in the order of 3 billion barrels of fluid annually
9 that gets injected in the State, hydraulic fracturing
10 stimulation, when they actually are injected it in and
11 stimulating, represents .02 percent of all that water.

12 So, there's far greater risk of contamination of
13 the aquifer or other zones from just the normal
14 production and injection that goes on in the oil field
15 operations.

16 And there have been cases where there have been
17 casing failures and there has been contamination. And
18 those cases -- but it's not hydraulic fracturing.

19 In those cases, we immediately notify the water
20 boards. We have the authority to tell them to repair
21 the well, but we don't want to tell them to go tell them
22 to fix the hole in the well if the water board's going
23 to tell you need to produce back out of that hole that
24 you were injecting fluid. Well, now, we want you to
25 produce out for the next six months to make sure you

1 clean up any contamination.

2 So, we work with the water boards in cases like
3 that to make sure that, you know, if there was a
4 failure, there was some kind of remediation.

5 But for the most part, given the number of wells
6 there are and the volumes that are being moved through
7 the aquifers, behind these protective layers, industry
8 has done a remarkable job of not contaminating aquifers
9 throughout the State.

10 MR. BRATHWAITE: What about the possibility of
11 the frac -- once the frac has been established? I mean,
12 is it possible that these fracture zones could be
13 misdirected and end up places that we don't intend and,
14 thus, contaminate some of the sensitive zones?

15 MR. KUSTIC: Possible, but not very likely.
16 When they do fracture stimulation, I've got a slide up
17 here, they're targeting this zone here. And perhaps
18 they might get a thousand-foot frac if they model it
19 great, and they have enough pressure.

20 Typically, in California, fracture stimulation
21 occurs depths of 5,000 all the way down to 10,000 feet.
22 We do have some that's shallow, but in the areas where
23 it's shallow there is no freshwater aquifer.

24 Some of the western side, the western half of
25 Kern County there's not many aquifers over there. So, t

1 here's some shallow, but there's no aquifer to
2 contaminate.

3 But if you were to somehow get a fracture to
4 migrate -- in fact, our regulations require that if the
5 length of your fracture could leave the reservoir rock
6 and impact the cap rock that's confining harder or
7 denser rock, then you have to evaluate the cap rock in
8 addition to the reservoir rock, to make sure that that
9 cap rock would actually be strong enough to stop that
10 fracture.

11 But if you're talking about 5,000 or 6,000 feet
12 and you're trying to get a fracture all the way back up
13 to, you know, a freshwater table, the deepest in the
14 State, you know, 1,500 to 2,000, most of it, especially
15 what's being used is more -- you know, less than 1,000
16 feet.

17 But, realistically, when you start looking at
18 the physics to do this, you'd have to set off some kind
19 of a nuclear device down here to get a crack that far.
20 I mean, that's how strong the rock is.

21 MR. BRATHWAITE: Okay, thank you.

22 MR. RHYNE: I actually had a question. You
23 mentioned the Monterey shale and the kind of potential,
24 but obviously not immediate potential for development of
25 gas resources from Monterey, if for some reason the

1 economics change and industry starts to look in that
2 direction.

3 Do you have any current estimates of what the
4 Monterey shale play, how much gas might be there and
5 what the production profile or rates might be? You
6 know, obviously, I might be asking you to speculate a
7 little bit, but do you have any numbers like that?

8 MR. KUSTIC: No, our agency doesn't really do
9 forecasting. Most of the hydrocarbons in the Monterey
10 is oil versus gas. There certainly is some gas.

11 But probably the Energy Information
12 Administration that has looked into it, is probably a
13 better source of the information than we are.

14 MR. RHYNE: Are there any other questions in the
15 room?

16 Any questions online?

17 Okay, so thank you very much, Tim.

18 So, before we move on to our last presentation
19 of the day, I want to just pause for a moment and open
20 the floor to questions for either of our two presenters
21 on fracking, either from the NRDC or from DOGGR.

22 So, are there any other questions, broader
23 questions?

24 Go ahead, Leon.

25 MR. BRATHWAITE: I don't want to dominate the

1 events here, but I have a question for the presenter
2 from NRDC.

3 Miriam, I was wondering does the NRDC have a
4 position on hydraulic fracturing in terms of whether
5 there should be more stringent regulations, or should
6 the procedure be banned altogether? What exactly is the
7 position of NRDC on this matter?

8 MS. ROTKIN-ELLMAN: Our concerns about the
9 regulatory and data gaps that I presented have led us to
10 have a position that until we have the proper safeguards
11 there should be no new hydraulic fracturing.

12 MR. BRATHWAITE: Okay, thank you.

13 MR. RHYNE: Thank you very much.

14 We're going to move on to our last presentation
15 of the day, which is Leon Brathwaite. And he'll be
16 talking, keeping with our shale -- sorry -- keeping with
17 our shale theme for the afternoon.

18 He'll be talking about the shale uncertainty
19 cases. Leon.

20 MR. BRATHWAITE: So, I will introduce myself
21 again, for the tenth time, I guess.

22 I'm Leon Brathwaite. I work here at the Energy
23 Commission, in the Electricity Analysis Office to be
24 specific.

25 And I'll be talking about the shale uncertainty

1 cases, you know, taking a sort of scenario approach.

2 Now, I want to be clear about these cases. They
3 are not necessarily cases that we consider plausible.
4 They are not necessarily cases that we -- they may not
5 even be possible.

6 What we are trying to do here is answer some
7 specific questions and I think Ivin touched on that this
8 morning.

9 We are trying to answer the question of what if?
10 What if these conditions that I'm about to lay out do
11 occur? What would happen? What would be the impact on
12 production? What would be the impact on supplies? What
13 would be the impact on the development of shale
14 resources?

15 So, let me just get into my presentation and
16 we'll see where we go from here.

17 So, as you know, there has been a great amount
18 of controversy that have been generated as a result of
19 the development of shale formations throughout the lower
20 48.

21 And there have been many, several areas, but the
22 big ones have the possibility of the potential of
23 groundwater contamination, the possibility of increase
24 seismic activity, and that is a concern here in
25 California, given how often the world shakes around

1 here.

2 Then the diversion from freshwater as a result
3 of hydraulic fracturing, that's a concern. And, of
4 course, any emissions, methane and others that may end
5 up in the air.

6 So, all of these things have been a source of
7 great concern.

8 As a result of this, decision-makers, policy-
9 makers have been taking a second look at some of the
10 policies that are, you know, on the books as a result of
11 involving the development of these resources.

12 And some jurisdictions have taken different
13 approaches to trying to deal with the development of
14 shale natural gas.

15 For example, New York have delayed the
16 development of its shale resources. The Marcella shale,
17 probably the largest shale resource that we are aware of
18 at this point in time, a big portion of it lies very
19 close to some pretty sensitive areas in New York, in the
20 watershed areas, in particular, and they have some great
21 concerns about that so, they are taking a very hard look
22 at how, and when, or if they will develop that resource.

23 Other jurisdictions, Pennsylvania in particular,
24 have instituted environmental fees. Other states are
25 also looking at doing the same thing.

1 Others are tightening regulations. And we are
2 seeing that ongoing right here in California, as Tim
3 laid out for us that we are looking at tightening some
4 regulations here in California. Other states are doing
5 the same thing.

6 But all of this, all of this, all of what is
7 going on with the development of shale is occurring with
8 a background where we have a great technological
9 innovation going on in the oil and gas industry right
10 now, hydraulic fracturing and horizontal drilling.

11 Now, as Tim said, these technologies are not
12 new, but they're having some improvements in them and
13 the innovations are continuing as we speak.

14 Hydraulic fracturing has been going on for 50 or
15 60 years, but there have been a lot of concerns about
16 the procedure.

17 Okay, so I will be talking about four shale
18 cases. Now, we are specifically going to look at shale,
19 okay. We are not going to be looking at the
20 conventional resources out there right now. We are
21 specifically looking at shale.

22 We look at four cases. We look at shale
23 abundance, shale reconsidered, shale expensive, and
24 shale deferred. And I hope the names are explicit in
25 the sense that it tells you what we are going to try to

1 do here.

2 In order to take a look, a deeper look at these
3 things we have to look at four -- or are going to look
4 at four important variables. One of them is changes in
5 the supply cost curve.

6 The second is changes in the time of
7 availability of some resources.

8 The third is changes in the environmental impact
9 fees.

10 And the fourth is changes in the rate of growth
11 of technology which, of course, is a big deal right now.

12 And we will start -- all of our cases will start
13 with our reference case. That was the case that Ivin
14 spoke about this morning. No, it wasn't this morning,
15 it was this afternoon. Pardon me.

16 Okay, but let's talk about that case. Now, of
17 course, that case is still -- we are still doing some
18 work with that and whenever we get done we will be
19 starting with these cases, and we'll start with our
20 reference case and develop these cases as a result.

21 In the shale abundance, of course we begin with
22 the reference case, the change in the supply cost curve.
23 We're looking at an expanded resource base. All known
24 shale formations will be developed.

25 In this case, in this world of shale, cost

1 estimates we believe will be 15 percent low, and as a
2 result we make an upward adjustment of the curves of the
3 supply cost curves.

4 Hi, Commissioner.

5 In terms of the availability of resources there
6 are no delays in production hook-ups in this shale world
7 we are considering.

8 On the environmental impact fees we'll be on the
9 low range, we'll have like 30 cents for Mcf in terms of
10 any environmental impact fees, mostly because of water
11 handling. I mean, there's a lot of water that are used
12 in these -- in hydraulic fracturing.

13 Both the water that is used in -- that is pumped
14 into the reservoir and water that is extracted, and
15 there's a lot of handling that must be carefully done,
16 and the water must be treated as a result and all that.

17 So, we are going to assume in this shale world
18 that only about 30 cents per Mcf production will cover
19 the cost of those things.

20 In terms of technology and innovation, we assume
21 the technology will grow at 2.5 percent, which is pretty
22 high relative to the reference case. I think in the
23 reference case we only have like 1 percent or something
24 like that.

25 Now, in terms of shale reconsidered, again, we

1 begin with the reference case.

2 But in this case, and this is a shale world that
3 we're creating, we have the concerns about hydraulic
4 fracturing will delay further development of shale
5 formations.

6 We'll have targeted moratoriums. We'll look at
7 specific areas where we believe that it will go off
8 limits. For instance, like New York. New York will go
9 off limits. There are some parts of Pennsylvania that
10 will go off limits. Certain parts of Ohio and certain
11 parts of the Rocky Mountains will go off limits.

12 And as a result of that, we are thinking that we
13 may end up shrinking the results of these by 15 percent.

14 In terms of the availability, we'll see
15 significant delays in terms of hooking up new
16 production. We're thinking about three years.

17 Environmental impact fees will be on the higher
18 end of our range, and we're thinking about 55 cents per
19 Mcf.

20 Technology and innovation will grow at the rate
21 of the base case, which is about 1 percent.

22 In shale expensive, now the shale expensive sort
23 of looks like the previous case, but they have some
24 differences that should be explored.

25 We will begin with our reference case. The

1 resource base, though, will remain unchanged as compared
2 to the reference case.

3 In terms of a hookup of new production that will
4 take about three years because of the environmental
5 challenges.

6 Environmental impact fees, here is where is
7 going to be a big, significant change. Well, these are
8 higher than our highest value on our range and we are
9 thinking about 20 percent higher, so we are talking
10 about 67 cents per Mcf higher in terms of the
11 environmental impact fees.

12 Technology, though, will be cut in half compared
13 to the reference case, so it will only be a half a
14 percent. The reference case is about 1 percent in terms
15 of growth in technological innovation.

16 Here, we're only going to develop about a half a
17 percent in the shale expensive world.

18 In shale deferred, in shale deferred will begin
19 with the reference case, the supply cost curves will
20 remain unchanged from the reference case.

21 But the hookups will be even more delayed than
22 previously. Here, we see delays in the three- to five-
23 year range, but closer to the five-year. Most of the
24 new production will not come on for maybe four, four and
25 a half years, maybe.

1 Environmental impact fees will be on the high
2 range, about 55 cents per Mcf.

3 And technology will grow at the reference case
4 rate of about 1 percent.

5 With that, I will end my presentation. But the
6 thing that I want to say here, before I leave, we are
7 not talking about trying to answer all of the concerns
8 or questions that come up as a result of shale
9 development.

10 We are just trying to answer specific questions
11 of what if? What if these things occur, what will be
12 the impact upon the market in terms of its production,
13 in terms of shale development? That is what we are
14 trying to answer.

15 We're not looking at -- we're not talking about
16 the likelihood of occurrence, we're just talking about
17 possible impacts.

18 With that, I'll take any questions that you may
19 have. Thank you very much for listening.

20 MR. RHYNE: All right, thank you, Leon.

21 So, we've had all of the presentations that we
22 had scheduled for the day and, once again, I appreciate
23 everybody's flexibility in staying with us.

24 It's been relatively quiet with regard to public
25 comment thus far. I would hope that either some of the

1 folks who really have some thoughtful input on this are
2 either -- have been waiting for this time of the day to
3 share their input or, perhaps more likely, will be
4 formulating their input with regard to written comments,
5 such that you can share more precisely some of the
6 estimates, impacts, and thoughts that you have.

7 But we will stop here and I will ask -- this is
8 an open forum at this point with regard to natural gas
9 issues and natural gas modeling.

10 So, I'll open the floor, first, to folks in the
11 room. Are there any final thoughts, comments or
12 questions to share from the public?

13 Okay, second of all, we're going to turn to the
14 folks online and ask if there are any questions or
15 comments from the folks, from our online participants.

16 Yeah, there is a question about whether or not
17 presentations will be posted online. We will get them
18 online either later today or first thing tomorrow, so
19 everyone will have an opportunity to download and take a
20 look at these.

21 Any other questions online?

22 Okay, and seeing none Commissioner McAllister,
23 you've joined us here as we've reached towards the end.
24 I would ask if you have any closing remarks?

25 COMMISSIONER MC ALLISTER: Yeah, I was hoping to

1 catch a little more at the tail end, but scheduling
2 prevented it. But I trust you had a good afternoon.

3 And I have been reflecting a little bit on the
4 morning, which I enjoyed. And I guess, you know, it
5 sounded like that the -- essentially, the utilities that
6 spoke, you know, both Northern and Southern California,
7 you know, all over the State there's really -- on the
8 storage issue, it was kind of surprising to hear that
9 there really wasn't an anticipated need for new storage.

10 I guess, particularly, just being aware -- been
11 expecting to hear a different message as far as Southern
12 California, particularly San Diego that, you know, given
13 some of the scenarios that we've talked about that
14 storage might be a need in the future.

15 But I guess I can let the PUC know that there
16 won't be any requests for ratepayer funds to build new
17 storage down there in the next 30 years. So, that's
18 what I heard and I guess they'll be happy about that,
19 too.

20 But in any case, I'm sure public comment will
21 get into more detail about why that's the case, and any
22 other issues for the forecast that we -- that Ivin and
23 his team want to know about, or need to know about to do
24 the forecast.

25 And, really, just to keep the Commission fully

1 informed about what the upcoming scenarios might look
2 like, and what the different perspective scenarios are
3 going forward.

4 And that's not just for this portion, you know,
5 just going forward for the next 5, 10, 15, and beyond
6 years.

7 Let's see, so, yeah, I'll just invite those
8 written comments. You know, more is better. I know
9 that sometimes today -- today seemed relatively
10 formulaic, there weren't that many comments, but sort of
11 in real time. But, you know, I hope that's because
12 people are really giving it some thought to work with
13 the Commission and hold hands to provide substantive
14 comments, because I know that they get used and it's
15 very valued and valuable for us.

16 So, with that I'll thank Ivin and the IEPR team,
17 Suzanne and her team, and pass it back to Ivin for a
18 close out.

19 MR. RHYNE: All right, thank you, Commissioner.

20 I do want to close with just one last thought
21 and admonition. The world that we inhabit today is one
22 in which the energy markets and the energy sectors are
23 far more interconnected and interdependent than they
24 ever have been in the past.

25 The path towards higher renewables will bring

1 the gas sector into closer alignment with the electric
2 sector. The push towards electric and natural gas-
3 powered vehicles will do the same thing.

4 And so, all of the worlds that we have
5 historically considered to be separate are becoming more
6 interdependent and so, as we move forward in the 2013
7 IEPR, we are working hard to identify some of those
8 interdependencies and understand at least some of the
9 initial implications of what those interdependencies
10 mean.

11 But it really depends largely not on our
12 expertise, but on your participation.

13 And so, my admonition is this, if you have
14 thoughts that occurred to you, if you have specific
15 numbers, values, references, pieces of information that
16 you think are of relevance to us, please don't assume
17 that we know of them.

18 We do our best to stay informed and we actually
19 spend a great deal of our time and energy monitoring
20 what goes on out in the industry.

21 But, as I think all of you may already know, it
22 is a very large industry to keep track of. And so,
23 there are always new ideas, there are always new pieces
24 of information out there.

25 And so, especially if they have relevance to any

1 of the scenarios or perhaps think of them as narratives
2 that we've shared here today, or the issues that
3 underlie those narratives, please share those in the
4 comments.

5 And we have comments are due by May 8th of this
6 year. You can submit them via e-mail. We actually
7 encourage you to submit them via e-mail. And the docket
8 number is 13-IEP-1K, as in kilo, and then indicate the
9 natural gas modeling and trends in the subject line, and
10 it's docket, that's singular -- docket@energy.ca.gov.
11 Again, that's docket@energy.ca.gov.

12 Or if you feel like you want to make sure it
13 gets there in a more perhaps hardy fashion, a little
14 old-fashioned, there is a physical address. You could
15 mail it to the California Energy Commission Dockets
16 Office, which is at mail stop number 4.

17 This information is included in the workshop
18 notice, as well as this presentation and all the
19 presentations that were shared today will be posted
20 online either later today, or first thing tomorrow.

21 As I close, I really want to thank everyone, all
22 of our participants who are here from the industry, for
23 sharing their points of view and their expertise. Thank
24 you very much, it is very much appreciated.

25 I also want to extend a special thank you to

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 those who were part of the audience, who listened and
2 participated. Thank you very much.

3 And, finally, it is always a pleasure as a
4 manager to have a team of people who you can rely on to
5 get things done and the three staff members, Leon
6 Brathwaite, Robert Kennedy, Peter Puglia, and they
7 really did the lion's share of the work in putting this
8 together. And I want to thank them, personally, for
9 their hard work and their making sure that this came
10 together as well as it did.

11 So with that, we will close out our workshop
12 today. Thank you all very much. Please drive safely
13 and, hopefully, we'll see you and hear from you soon.

14 (Thereupon, the Workshop was adjourned at
15 3:25 p.m.)

16 --oOo--

17

18

19

20

21

22

23

24

25