

**DOCKETED**  
**13-IEP-1E**

TN 2951

JUN 07 2013

BEFORE THE  
 CALIFORNIA ENERGY COMMISSION (CEC)

In the matter of )  
 ) Docket No. 13-IEP-1E  
 2013 Integrated Energy )  
Policy Report (2013 IEPR) )

**JOINT LEAD COMMISSIONER WORKSHOP ON  
 CONSIDERATION OF ENVIRONMENTAL AND LAND-USE FACTORS  
 IN RENEWABLE SCENARIOS AND DEVELOPMENT OF  
 RENEWABLE ENERGY PROJECT DATABASE**

California Energy Commission  
 Hearing Room A  
 1516 9th Street  
 Sacramento, California

Tuesday, May 7, 2013  
 9:30 A.M.

Reported by:  
 Peter Petty

## APPEARANCES

COMMISSIONERS

Robert B. Weisenmiller, Chair, CEC  
Andrew McAllister, Lead Commissioner IEPR  
Karen Douglas, Lead Commissioner Siting  
Janea Scott  
Kelly Foley, Advisor to Commissioner Hochschild

STAFF

Suzanne Korosec  
Misa Milliron  
Roger Johnson  
Lorraine Gonzalez

Also Present (\* present via telephone)

Presenters/Panelists

Robert Strauss, CPUC  
Carlos Velasquez, CPUC  
Bill Condon, CDF&W  
Mike Sintetos, BLM, REAT Rep.  
Paul McCarthy, LA County  
\*Byron Woertz, WECC  
Carl Zichella, Rep of WECC's Environmental Data Task Force  
Erica Brand, The Nature Conservancy  
Renee L. Robin, SunPower Corp.

Public Comment

David Smith, Power Company of Wyoming  
Rachel Gold, Large Scale Solar Association  
Chris Ellison, Ellison Schneider & Harris Rep  
Kate Kelly, Defenders of Wildlife

## INDEX

	Page
Introduction	
Suzanne Korosec, IEPR Lead	5
Opening Comments	
Commissioner Andrew McAllister, Ph.D., IEPR Lead Commissioner	8
Commissioner Karen Douglas, J.D., Siting Lead Commissioner	9
Chair Robert B. Weisenmiller, Ph.D., IEPR Associate Commissioner	11
Commissioner Janea Scott	11
Overview and Workshop Goals	
Misa Milliron, California Energy Commission	11
Topic #1: Process for Consideration of Environmental and Land-Use Factors in Renewable Scenarios for Transmission Planning	
Background and Update on California Public Utilities Commission (CPUC) Long-Term Procurement Plan Portfolio/Scenario Development Process	
Robert Strauss, CPUC	13
Background and Update on the Energy Commission's Renewable Energy Project Database and Environmental Scoring Methodology for Renewable Scenarios	
Roger Johnson, Energy Commission	25
Background on CPUC RPS Calculator and Consideration of Long-Term Environmental/Land-Use Data Needs	
Carlos Velasquez, CPUC	36

## INDEX (Contin.)

	Page
Topic #2: Environmental/Land-Use Data for Scenario Planning and Renewable Energy Project Database Issues: Roundtable Discussion (See attachment for discussion questions)	
Facilitator: Misa Milliron, Energy Commission	51
<u>Panelists</u>	
Roger Johnson, Energy Commission	54
Lorraine Gonzalez, Energy Commission	60
Robert Strauss, CPUC	63
Carlos Velasquez, CPUC	68
Bill Condon, California Department of Fish and Wildlife	69
Mike Sintetos, Bureau of Land Management, Renewable Energy Action Team (REAT) representative	74
Paul McCarthy, Los Angeles County	77
Byron Woertz, Western Electricity Coordinating Council	85
Carl Zichella, Representative of WECC's Environmental Data Task Force	91
Erica Brand, The Nature Conservancy	102
Renée L. Robin, SunPower Corporation	109
Public Comments	115
Adjournment	126
Reporter's Certificate	127
Transcriber's Certificate	128

1 P R O C E E D I N G S

2 MAY 7, 2013 9:38 A.M.

3 MS. KOROSSEC: Good morning, everyone. I'm  
4 Suzanne Korosec. I manage the Energy Commission's  
5 Integrated Energy Policy Report Unit. Welcome to this  
6 morning's workshop on Consideration of Environmental and  
7 Land-Use Factors in Renewable Scenarios.

8 This workshop is a joint effort between the Lead  
9 Commissioners for the Integrated Energy Policy Report and  
10 for Siting.

11 A few quick housekeeping items before we begin.  
12 Restrooms are in the atrium out the double doors and to  
13 your left. Please be aware that the glass exit doors near  
14 the restrooms are for staff only and will trigger an alarm  
15 if you try to exit that way. There's a snack room on the  
16 second floor off the atrium, under the white awning for  
17 coffee and snacks. And if there's an emergency and we  
18 need to evacuate the building, please follow the staff out  
19 of the building to Roosevelt Park, which is kitty corner  
20 to the building, and wait there until we're told that it  
21 is okay to return.

22 Today's workshop is being broadcast through our  
23 WebEx Conferencing System and parties do need to be aware  
24 that you are being recorded. We'll make an audio  
25 recording available on our website in a few days and we'll

1 make a written transcript available in about two weeks.

2 Our workshop this morning is scheduled to end at  
3 12:30 and we're going to have to be really strict about  
4 the end time since there's a second IEPR workshop that's  
5 starting at 1:30 this afternoon.

6 Misa will be giving an overview of the agenda in  
7 a few moments, but I do want to point out that, in  
8 addition to opportunities for questions after each  
9 presentation, we've also set aside 15 minutes at the end  
10 of the workshop for more general public comments. At that  
11 point, we'll take comments first from those of you here in  
12 the room, followed by those on WebEx, and then finally by  
13 those that are participating by the phone only. When  
14 you're making comments or asking questions, please come up  
15 to a microphone so that we make sure we capture your  
16 comments on the record and that the folks on WebEx can  
17 hear you. And it's also helpful if you can give our Court  
18 Reporter your business cards so we make sure we get your  
19 names spelled and that your affiliation is correct.

20 For WebEx participants, you can use the chat  
21 function to let our WebEx coordinator know that you have a  
22 question and we'll relay your question or open your line  
23 at the appropriate time. For phone-in only participants,  
24 we'll open all the phone lines after we've taken comments  
25 from the in-person and WebEx participants. And if you're

1 on the phone only, it's helpful if you can keep your line  
2 muted until you have a comment to make so that we don't  
3 get a blast of feedback when we open up all the phone  
4 lines.

5 We're also accepting written comments on today's  
6 topics until close of business May 21st. And the Notice  
7 for today's workshop, which is on the table in the foyer  
8 and also on our website, explains the process for  
9 submitting comments to the IEPR Docket.

10 The context for today's workshop is a 2012 IEPR  
11 update recommendation to address transmission and  
12 interconnection challenges as part of the State's  
13 Renewable Action Plan. The IEPR pointed out that  
14 environmental and land use factors may be underused in  
15 renewable resource scenarios and that they need to be  
16 incorporated fully into transmission and procurement  
17 planning processes. As a step toward achieving that goal,  
18 the plan recommended that the Energy Commission use its  
19 environmental and land use expertise to continue to  
20 develop renewable project databases for in and out-of-  
21 state projects, and to collect and maintain data through a  
22 transparent and public process with opportunities for a  
23 lot of stakeholder involvement.

24 One of the several action items under this  
25 recommendation includes holding an initial public

1 workshop, which we're doing today, in conjunction with  
2 preparation of the Energy Commission's Strategic  
3 Transmission Investment Plan that is part of each biannual  
4 IEPR. Based on the outcome of the workshop, then we'll  
5 decide on next steps.

6           The Renewable Action Plan also committed the CEC  
7 to holding an annual workshop under the direction of the  
8 Lead Commissioner for Renewables to highlight progress on  
9 the Renewable Action Plan's recommendations, including the  
10 recommendation that we're talking about today. And the  
11 first of those annual workshops will likely take place in  
12 early 2014.

13           So we do have a lot to get through before 12:30,  
14 so I'll turn now to the dais for opening comments.

15           COMMISSIONER MCALLISTER: Thank you, Suzanne.  
16 I'm Andrew McAllister, Lead on the IEPR this year for  
17 2013. And I'm really pleased to be joined with three  
18 other Commissioners, primarily Commissioner Douglas who is  
19 the Lead on Siting, and Chair Weisenmiller to my right,  
20 obviously, and Commissioner Scott over there on the end,  
21 to my left.

22           I think this is really -- that's a  
23 representation, the fact that there are four Commissioners  
24 here, of how important this topic is, how relevant for the  
25 long term it is for where the state needs to go. I think



1 the transparency theme here is really top, should be top  
2 of mind for everybody, it helps us ensure that we have a  
3 process that we get buy-in on for the long term, and that  
4 is sustainable and really well grounded for the heavy  
5 lifting that is in process and will certainly come in the  
6 future.

7           Also, I would just highlight that the idea or the  
8 imperative to hold hands tightly with our sister agencies  
9 is really important here, as well. So, this resource that  
10 we're developing today and ongoing in this IEPR is part of  
11 the foundational work that the ISO and the CPUC will use  
12 going forward for their long term procurement planning and  
13 the transmission planning, and that's really a key aspect  
14 of all of this as well, so we're looking forward to  
15 working through these issues and I will turn it over to  
16 Commissioner Douglas, who is I think really in the middle  
17 of a lot of the issues we're going to talk about today, so  
18 looking forward to her contributions today, as well.

19           COMMISSIONER DOUGLAS: Well, thank you,  
20 Commissioner McAllister. I'd like to join you in  
21 welcoming everyone here, panelists and members of the  
22 public. It's a good turnout.

23           Obviously, we've been working for some number of  
24 years now, beginning with the RETI process and continuing  
25 on through work on the Desert Renewable Energy

1 Conservation Plan and a number of efforts to much more  
2 tightly coordinate between the Energy Commission, the  
3 Public Utilities Commission, and the Independent System  
4 Operator to move forward on thinking about planning for  
5 renewable energy and, in particular, the topic of today's  
6 workshop, planning for generation, trying to understand  
7 where generation is likely to occur and is likely to be  
8 most favorable from an environmental perspective, and then  
9 feeding that information into the transmission planning  
10 process so that we can adequately plan for and hopefully  
11 ensure that we're able to build the transmission that is  
12 needed to serve the areas that are most likely to  
13 contribute, and contribute most heavily, to meeting our  
14 renewable energy goals, not only the 33 percent RPS, but  
15 also the state's longer term climate goals. So I really  
16 see this topic as an important one for helping all of us  
17 work together to keep the state on track to meet the 33  
18 percent RPS and meet our longer term climate goals and do  
19 the best job we can collectively to bring forward and site  
20 and permit and see through to construction the projects  
21 that are going to be needed to get us to this goal. So  
22 with that, I'd love to hear other comments from the dais  
23 and then get into the presentations.

24 COMMISSIONER MCALLISTER: I think Chair  
25 Weisenmiller might have some words.

1           CHAIRMAN WEISENMILLER: Again, I'd like to thank  
2 everyone for being here. I think over the last several  
3 years we've certainly found transmission to be both  
4 critical and challenging. Early on, I think the Governor  
5 certain set a goal to try to shorten the transmission  
6 planning and permitting process and, in fact, we've all  
7 been scratching our head trying to figure out ways to do  
8 that. I think this sort of planning is one way to try to  
9 do it, but again, bottom line, it's not easy. But this is  
10 certainly getting, you know, we know for the power plants  
11 location really matters, we're trying to really encourage  
12 development in certain areas, and then associated with  
13 that we have to have the transmission lines. So, again,  
14 looking forward to a good conversation today. Janea.

15           COMMISSIONER SCOTT: Good morning. I am  
16 Commissioner Scott and I am here at my very first IEPR  
17 Workshop, so I'm glad to dig in and listen and learn, and  
18 I echo the comments that you've heard this morning from my  
19 fellow Commissioners. And I also look forward to hearing  
20 from the staff and from our panelists today. So thank  
21 you.

22           MS. MILLIRON: Thank you. Good morning,  
23 everybody. My name is Misa Milliron and I work in the  
24 Siting, Transmission and Environmental Protection  
25 Division. I'm going to give an overview of the agenda

1 topics today and then later I'm going to help facilitate  
2 the panel discussion.

3           There are two main agenda segments today, the  
4 first is comprised of presentations and focuses on process  
5 and how environmental and land use data are used for  
6 scoring renewable energy projects at a planning level for  
7 PUC's use and ultimately the California ISO.

8           To that end, the CPUC will give a process  
9 overview of their Long Term Procurement Plan and  
10 Portfolios, and then the Energy Commission will give an  
11 overview of the Renewable Energy Project Database used in  
12 environmental scoring that is transmitted to the CPUC.  
13 And then we'll round that out with another presentation  
14 from the PUC where they'll give an overview of the RPS  
15 Calculator and show where the environmental data are  
16 considered there, and also give an update on their ongoing  
17 examination of environmental scoring methodologies.

18           The presentations will be about 15 minutes each,  
19 followed by five minutes for questions after each  
20 presenter is done with the presentation.

21           And then the second agenda segment consists of a  
22 roundtable discussion of environmental data used in the  
23 portfolios and related database questions which are in the  
24 attachment to the Agenda.

25           The focus of this workshop is long term and

1 process oriented, and the focus of environmental data at a  
2 planning, rather than a site-specific level. The goal  
3 today is to identify high level issues and process  
4 information for incorporation in Energy Commission's  
5 Strategic Transmission Investment Plan, which will be  
6 touched upon in the next workshop that is going to be held  
7 this afternoon. And as Suzanne mentioned, I'll be  
8 watching the clock pretty closely since we've got two IEPR  
9 workshops today, and I will go ahead and turn it over to  
10 our first presenter. Thank you.

11 MR. STRAUSS: Good morning, Commissioners, ladies  
12 and gentlemen. My name is Robert Strauss with the  
13 California Public Utilities Commission. I'm here to talk  
14 today about the Long Term Procurement Process. I'm going  
15 to cover the basic overview of what the Long Term  
16 Procurement Proceeding is and then give a little bit of  
17 background on the renewable scenarios that are used in the  
18 LTPP and the Environmental Scoring Data and Use.

19 The Long Term Procurement Process has evolved  
20 over the last 10 years. It was originally designed and  
21 still continues to be an oversight function for the AB 57  
22 bundled procurement plans for the major utilities. It's  
23 based on Code Section 454.5. I won't talk a lot more  
24 about that today, but that's the original intent of it, it  
25 has evolved into one part of it being about reliability,

1 reliability needs, and that's where environmental scoring  
2 plays a larger part.

3           The components of the LTPP are the three tracks.  
4 The first two tracks are dealing with reliability, Track  
5 1, and the tracks vary from each procurement process, each  
6 round of it is a little bit different, but for this round,  
7 the one that is currently in process, Track 1 dealt with  
8 the L.A. Basin & Big Creek/Ventura areas in Southern  
9 California, looked at local capacity needs. Most of this  
10 is based on the anticipated retirement of the 50 plus year  
11 old once-through cooling plants, came out with the  
12 decision at the end of last year.

13           The second track is dealing with planning and  
14 assumptions that are used in doing the analysis. The  
15 second track is the Mean Reliability System Planning  
16 Track, and so it looks at what the needs are over time,  
17 and the current largest focus of that track is  
18 flexibility, but to do any analysis you need to get  
19 agreement on assumptions. So we had a decision at the end  
20 of last year that laid out what the main assumptions were  
21 after a long stakeholder process.

22           The third track is the bundled procurement track  
23 which is currently underway and there's also a commitment  
24 by the Commission to look at SONGS and what the impacts of  
25 SONGS not coming back on line would be to the state's

1 electrical system.

2           This is just a little detail on the Local Area,  
3 on the Decision in February which authorized a significant  
4 amount of newer resources in the LA Basin, Ventura/Big  
5 Creek, the Commission weighed a lot of evidence on the  
6 reliability needs coming out of those and tried to focus  
7 on preferred resources as much as possible to meet those  
8 needs.

9           Also, the Commission in a separate Decision  
10 looked at the San Diego Local Area, and authorized new  
11 generation in that area. So the Commission is moving  
12 forward on meeting the reliability needs of the state.

13           Moving forward to Track 2, the System Track, it  
14 establishes the overall reliability needs of the system,  
15 as flexibility is the main focus right now. The scenarios  
16 and assumptions that were adopted in the December Decision  
17 are now being used in the modeling that's going on about  
18 flexibility. And the ISO is doing the majority of that  
19 modeling, and the modeling is being done by other parties  
20 also. And I've already mentioned the Bundled Track.

21           This is a PUC-centric graph of the interactions  
22 that go on in the LTPP process. And you can see from this  
23 graph that we interact with a lot of different state  
24 agencies, a lot of different state policies, in trying to  
25 direct the utilities procurement processes.

1           Timing. The LTPP is basically on a three-year  
2 cycle, the first year of it is the IEPR Demand Forecast  
3 that sets the basic forecast that we use in our planning  
4 processes. The second year, we adopt the scenarios and  
5 assumptions; beyond the IEPR forecasts, there's a whole  
6 list of different assumptions that need to be analyzed and  
7 we need to get stakeholder buy-in. We try to coordinate  
8 as much as possible with the ISO and other State agencies  
9 so the State is using common assumptions and planning.  
10 And in the second and third year, the CAISO does the --  
11 well, they're doing their long term transmission studies  
12 and they also do studies that feed into the LTPP  
13 reliability processes. And we are very grateful for the  
14 ISO for the analysis that they do, and it is very  
15 essential to our processes.

16           In the third year, which is what we're in, the  
17 third year of the 2012 process now, we do the analysis of  
18 the system needs. What we're hoping to get is studies in  
19 the summer and testimony and hearings that will lead to a  
20 conclusion as to what it needed primarily on flexibility,  
21 that's the big issue we're looking at, and also looking at  
22 SONGS and that impact. And the end result will be  
23 authorization of new resources that are needed and some  
24 evaluation of what resources are appropriate, both  
25 locationally and operational characteristics to meet the



1 state's future reliability needs.

2           This is a calendar basically of what I've just  
3 stated. The LTPP tries to use the most recent IEPR  
4 Update, uses the TPP, most recent transmission dates, but  
5 just the nature of this system means that all the data is  
6 always going to be a little bit old because it's always  
7 changing and you have to draw a line at some point and  
8 lock down your assumptions, like we did in December.

9           In the current LTPP, there are three different  
10 portfolios, one is based on commercial interest, which is  
11 basically Power Purchase Agreements and completed permit  
12 applications. It's focused on -- and this is for  
13 evaluating what renewable projects that are currently out  
14 there we're going to count in what's basically called the  
15 Discounted Core, which is the projects we think are going  
16 to happen.

17           The High DG case uses the commercial interest  
18 preference, but adds in an amount of distributed  
19 generation projects. Because there's a shorter timeline  
20 on many of the DG projects, we don't have confirmed PPAs  
21 on those.

22           The third portfolio is the Environmental  
23 Portfolio, where the environmental impacts takes a higher  
24 preference than, say, cost or commercial interest in the  
25 projects.

1           The commercial interest preference portfolios  
2 are used in most of the LTPP scenarios. We've basically  
3 found over time that there's very little difference in our  
4 process and the LTPP generation reliability planning  
5 process, between the different renewable portfolios in  
6 terms of the outcome that we're looking for which is  
7 reliability. Now, in transmission planning and some other  
8 things, there are just a greater impact of it, but for the  
9 actual trying to determine reliability, the different  
10 portfolios don't matter as much, and part of this is  
11 because there is so much RPS under contract that's going  
12 to come on line to meet the 33 percent that the actual  
13 delta between the different portfolios is relatively  
14 small. You know, if you've got projects that are already  
15 in construction, you're going to assume that they're there  
16 and then, with the amount that we've got under contract  
17 now, the amount that remains is relatively small to get to  
18 33 percent. And the transmission system currently can  
19 pretty much handle that.

20           These are the scenarios that the Commission has  
21 adopted in the priorities in terms of modeling for them.  
22 And you can see that the first three scenarios are all  
23 using the commercial portfolio, 1, 2 and 1A; and 3 is the  
24 High DG case. And you can see that 1D uses actually the  
25 environmental case.

1           So the portfolios that will be studied -- so  
2 portfolios are built into the analysis that is being run  
3 by the ISO, and they're based on the most recent IEPR  
4 forecasts. And the results of these inform the decisions  
5 for additional resources, which I already said, and it  
6 will also be used in the transmission planning. So we  
7 produce portfolios that we give to the ISO that vary a  
8 little bit from what is used in the LTPP, to the different  
9 natures of the analysis being done and the outcome that is  
10 needed for that analysis. And Carlos will talk more about  
11 how the different portfolios are developed. But in the  
12 LTPP, this leads to the Commission's authorizations. And  
13 once you've authorized something that affects the future  
14 of what you need. I mean, if you currently were limited  
15 by a 33 percent renewable portfolio, so you plan for 33  
16 percent renewables. And once you've done that, once  
17 you've bought to 33 percent renewables, or you've  
18 authorized utilities to buy to 33 percent renewables and  
19 they've made that commitment, then that impacts what you  
20 have forward because you don't want to double or triple-  
21 buy what you need, so you've got a limited amount of need  
22 and you don't want to double-buy and end up wasting the  
23 public's money.

24           The commercial interest in the High DG variant  
25 portfolios are calculated based on the commercial interest

1 score, which is weighted 70 percent, with lesser emphasis  
2 only 10 percent on the environmental score. And so, as I  
3 mentioned earlier, commercial interest score is the  
4 commercial interest portfolios which uses 70 percent  
5 commercial interest score, are used in the main modeling  
6 for the LTPP at the current time. The environmental  
7 portfolio uses a 70 percent weight and that affects --  
8 this is a little bit of detail on the environmental score.

9           Environmental data is used later in the PUC  
10 procurement process, so when the utilities go out to buy  
11 permitting, it becomes a more major factor, the ability to  
12 get a permit to being environmentally located to get  
13 permits, becomes very important in the viability of a  
14 project. And of course, projects have to have the  
15 appropriate permits to come on line in construction. So a  
16 lot of environmental data and the actual procurement and  
17 decision of individual projects comes in the procurement  
18 phase, not in the initially planning phases.

19           And for the actual planning of transmission, or  
20 planning of overall reliability, the actual unique --  
21 which project is being approved is much less important. I  
22 mean, if a project is on one side of the road, or the  
23 other side of the road, the impact on the transmission  
24 system, the impact on reliability is the same, two  
25 different developers, which one is in and which one is out

1 of the analysis really isn't important because what you're  
2 looking at is the need for transmission to that area and  
3 the reliability effects of that project. So this process  
4 doesn't look at -- it isn't making procurement decisions,  
5 it's only making more higher level decisions on the  
6 portfolios.

7 And that's the basic process. Do you have any  
8 questions?

9 COMMISSIONER MCALLISTER: Just one kind of  
10 general question. So could you maybe discuss some of the  
11 -- so very helpful, that last part about how, you know,  
12 you're not making procurement decisions, you're making  
13 kind of long term planning decisions that are more global  
14 and more general, but there is kind of some implicit or  
15 explicit assessment of how likely certain projects in  
16 certain areas are or are not to be built, right? So how  
17 likely those scenarios are. So sort of I guess I'm kind  
18 of looking for an understanding of the PUC's process  
19 within the LTPP, I would assume, sort of on the closer you  
20 get to certain realities panning out, how do you tune up -  
21 - sort of how do you do the long term transmission  
22 planning-related stuff, and then sort of how does that  
23 then play into -- how does that relate to the more  
24 specific project-based decisions that might be made down  
25 the road? So how do those two processes kind of hold

1 hands or communicate?

2 MR. STRAUSS: There's a couple different ways  
3 that things interact, and I'm not sure if I've got exactly  
4 what you're looking for, but Carlos will talk a little bit  
5 later that within making the RPS portfolios, there's part  
6 of a scoring mechanism to evaluate liability based on  
7 whether they've got financing, whether they've got their  
8 permits, and of course the environmental score is are they  
9 located in an environmentally preferred area, that counts  
10 10 percent. And so there is that scoring that goes on in  
11 the creation of the Discounted Core which are the assumed  
12 in projects, assumed to happen projects.

13 COMMISSIONER MCALLISTER: Maybe I'll flip it  
14 around. So historically how have the sort of analyses at  
15 this early stage for long term planning purposes sort of  
16 panned out on the ground in actual projects?  
17 Retrospectively, how does that look? You know, have the  
18 predictions kind of generally been right and the  
19 individual projects kind of panned out in a way that's  
20 consistent with what you thought was going to happen?

21 MR. STRAUSS: I wouldn't say that the individual  
22 projects came out, but the basic location- wise and  
23 reliability impacts have come out fairly accurately.  
24 There's been a few major projects that had transmission  
25 impacts that no longer look viable, some of which have

1 died completely, some of which are still being pursued,  
2 but look less viable now than they did several years ago.

3 COMMISSIONER MCALLISTER: Yeah, okay. I mean, I  
4 guess what -- the reason I'm asking is just trying to  
5 figure out, it's a little bit difficult, right? Because  
6 you're having to make forward decisions without full  
7 information, and then the real world steps in and does  
8 things that may or may not be consistent with that, and  
9 sort how do you true those things up? I guess that's kind  
10 of the general idea I'm trying to capture here.

11 MR. STRAUSS: Right. So one of the things that  
12 -- I mean, all the scoring for the actual procurement has  
13 a component in it on the cost of transmission upgrades  
14 needed to bring that project to interconnect it. So to  
15 the extent that the ISO approves the transmission project  
16 around the interconnection and the PUC approves the  
17 transmission line, and if that project then dies, you have  
18 a transmission line and anyone who wants to connect to it  
19 has a much lower cost because the line is already built.  
20 So that has an effect of, you know, if you build it they  
21 will come. And to some extent the Commission did that  
22 with the Tehachapi Project, they looked at an area that  
23 had significant resource potential, renewable resource  
24 potential, and they pursued going forward and building a  
25 transmission line to that area before there was a full

1 range of projects to fill that line. And then through the  
2 procurement process, projects came on line and were --  
3 contracts were entered into by the utilities that would  
4 attach to that line.

5 COMMISSIONER MCALLISTER: That's helpful. Thank  
6 you.

7 CHAIRMAN WEISENMILLER: I think another way of  
8 just following up on Commissioner McAllister's question  
9 was, a couple years ago, we were always assuming a 40  
10 percent failure rate and my impression the last time we  
11 went through this process to try to come up with the  
12 residual net short, looking at what was under  
13 construction, it looked like the fare rate was going to be  
14 lower than 40 and that obviously has impacts on residual  
15 net short. So I'm not sure what the current sense of what  
16 the appropriate fare rate is on these things.

17 MR. STRAUSS: I haven't looked at the numbers  
18 recently, but it's something that we're always looking at  
19 and it impacts it, and that failure rate to some extent is  
20 impacted sort of by a number of older projects that are  
21 still alive, but look less viable than they did when they  
22 were originally contracted.

23 CHAIRMAN WEISENMILLER: More or less zombies.

24 MR. STRAUSS: Which were in the failure rate all  
25 along. I mean, that keeps the number much lower. But



1   there's been a lot of activity by the utilities to try to  
2   revise the contracting, to try to reduce the failure rate.  
3   But there's a lot of variables that go into whether a  
4   project actually comes online and only some of them are  
5   controllable.

6               CHAIRMAN WEISENMILLER:   Okay.   Thanks.

7               MR. JOHNSON:   Good morning, Commissioners.   My  
8   name is Roger Johnson --

9               COMMISSIONER MCALLISTER:   Hey, Roger, I just  
10   want to point out that Kelly Foley has joined us, Advisor  
11   Commissioner Hochschild, so we have representation from  
12   all five Commission offices, so thank you all for making  
13   the time to come to the IEPR workshop, that's very  
14   helpful.   And I think we're all very interested in this  
15   topic, so thanks a lot, Roger.   No pressure, though.   1

16              MR. JOHNSON:   Thank you, Commissioners and  
17   Kelly.   And thank you audience, thank you very much for  
18   coming today.   My name is Roger Johnson, I'm the Deputy  
19   Director for the Siting, Transmission and Environmental  
20   Protection Division here at the Energy Commission.

21              I'd like to go over with you today the  
22   methodology that the Energy Commission staff used on  
23   scoring projects for the PUC's LTPP activity that Robert  
24   Strauss just described.

25              So we've done this scoring for a couple years

1 and each time we do the scoring, we had a little bit  
2 better data and another set of projects. So that's one  
3 thing I wanted to mention at the beginning here is that  
4 this assessment of these projects is a snapshot in time  
5 because each month the projects change, there's projects  
6 added into the system and there's projects that fall off,  
7 as we talked about, the failure rate of projects.

8 And so right now I've got a couple of example  
9 maps over here to demonstrate the projects, the locations  
10 of the projects, and how they fit into the areas that were  
11 being evaluated. And one thing you'll notice on that map  
12 is there are some projects that have numbers, but they  
13 have X's instead of points, and that X represents a  
14 project that originally was scored, but now with our most  
15 recent set of data that we put on the map for this  
16 workshop, that project no longer is being evaluated, so  
17 that would be a project that has fallen off. But that was  
18 part of the information that we used in a previous scoring  
19 effort; so I think that's helpful to see that.

20 So just to back up a little bit, in I believe it  
21 was March of last year we did the first set of scoring for  
22 the PUC and at that time it was a statewide effort and we  
23 scored 419 projects, and those were throughout the State  
24 of California, and Northern California, as well as in  
25 Southern California, within what's known as the DRECP, the

1 Desert Renewable Energy Conservation Plan. And this is an  
2 area that we've been working on with the REAT agencies,  
3 the Renewable Energy Action Team, and it's made up of the  
4 Energy Commission, the Department of Fish & Wildlife, U.S.  
5 BLM, and U.S. Fish & Wildlife Service. And these agencies  
6 have been essentially tracking projects from when we find  
7 out about them, if the agency has been working on them, or  
8 if a local agency has them under review, or if the Energy  
9 Commission has a project under review, the Renewable  
10 Energy Action Team is available to assist projects in  
11 permitting when they need it. And one of the outcomes for  
12 the DRECP is going to be an expedited Endangered Species  
13 Permitting for projects that are located within the  
14 designated areas. And I'll get to that in a minute.

15           So back in March, we scored 419 projects  
16 statewide and DRECP, at that time the REAT agencies had  
17 identified development focus areas which were large areas  
18 of interest which the agencies had determined were  
19 preferred areas for development because they were the  
20 least environmentally preferred area in the desert. So  
21 with that, we scored projects either in that, if they were  
22 in a renewable energy study area, or out. And it was a  
23 large polygon, and it was easy to see if the project was  
24 in or out.

25           So then in December of last year, the REAT

1 agencies published a December document that had refined  
2 those renewable energy study areas into development focus  
3 areas, and they had six alternatives that were being  
4 considered to essentially evaluate and to someday come up  
5 with a preferred alternative. So that's where in December  
6 the staff re-scored the DRECP projects for the PUC. And  
7 so we looked at our database and the PUC had 105 projects  
8 that had commercial -- they considered were commercial  
9 projects with power purchase agreements, and the Renewable  
10 Energy Action Team database had 221 projects in that area.  
11 And so we rescored those and provided those scores to the  
12 PUC.

13           And so the map that I have, the large map shows  
14 the DRECP and I've taken all the six separate renewable  
15 energy development focus areas and I've overlaid them, so  
16 there's these little maps at the top that show you what  
17 each alternative looked like, but on the map I've put them  
18 altogether to show you how the projects were either in or  
19 out of an alternative. So when we combined our database,  
20 we had a total of 326 projects for that scoring activity  
21 and we scored every project six times to determine --  
22 sometimes it was always in a DFA and sometimes it was not.

23           So here is a summary of what we needed to do was  
24 have a Lat/Long for every project, so we had a location  
25 point, and that helped us to determine -- well, that

1 allowed us to determine whether or not it was in or  
2 without of a development focus area.

3           So now a little bit back on our database. The  
4 Renewable Energy Action Team has a renewable energy  
5 project database that we've developed, and the Commission  
6 has responsibility for managing that database. And like I  
7 mentioned, it's made up of the projects the agencies know  
8 about that they're working on, and then we've also checked  
9 in with the counties to understand all the projects  
10 they're working on. We're trying to maintain a  
11 comprehensive database of renewable energy projects  
12 throughout the state which will be available to the REAT  
13 agencies if they need information about a project. And we  
14 try to keep that updated, but it's very labor intensive to  
15 keep track of all these projects. For a while there, we  
16 were having monthly calls with some of the key counties  
17 that had a lot of renewable energy permitting activity  
18 going on to check in on their database, to check in on  
19 their projects, the status, you know, which ones were  
20 coming up for decisions for EIRs, which ones had just been  
21 filed, which ones were data adequate, and then which ones  
22 had dropped off, hadn't heard from the developer for a  
23 while; so we put those on the inactive list.

24           So it's a large database and we do publish this  
25 database, we try to keep it current. Maybe four times a

1 year we'll update the list on the Energy Commission's  
2 website, and it's found here at  
3 [www.energy.ca.gov/33by2020](http://www.energy.ca.gov/33by2020). And that's where you'll find  
4 this current list. This one was revised January 30th of  
5 this year and it's got by county all the projects that  
6 we're tracking and the size of the project, the developer,  
7 and the technology.

8           So this is the information we've put out on the  
9 public website, there's more fields of information that  
10 the REAT agencies have as far as the status of the  
11 permitting, you know, do they have a Draft EIR, do they  
12 have a Final EIR, do they have an approval, what's the  
13 status of endangered species permitting? So those are all  
14 the fields that we're tracking internally.

15           And we've also prepared a map to display this  
16 information for the public. There's two maps; one is a  
17 .pdf map that is just the State of California with all the  
18 projects on it, and another is we've created a Google  
19 Earth Layer, it's a .kmz file where every project has a  
20 point, and I don't have it shown here, but if you put your  
21 cursor on that star, that yellow star is a PV project,  
22 it'll have a call-out window that opens up and gives you  
23 all the information about the project, the developer and  
24 it has more information than what's in the table, which we  
25 think is very helpful to be able to understand what these

1 projects are and where they're located.

2           So the scoring methodology, the staff goes  
3 through and looks at the location of every project and  
4 gives it a score, which I'll provide that scoring matrix  
5 in a minute here. Scores are based on positive  
6 preferences for projects and development focus areas, or  
7 on disturbed lands. A negative is a -- so the lower the  
8 score, the better; you know, go figure, but that's the way  
9 it is. So zero is the best score, 100 is the worst score.  
10 So a neutral score is a 50 where assigned projects are on  
11 non-desert, non-disturbed lands, outside of the DRECP.

12           So just a point of information: we've developed  
13 a lot of good environmental information within the desert.  
14 The DRECP has done a lot of current mapping, we've mapped  
15 parts of the desert that have never been mapped before,  
16 like vegetation mapping, to understand better the  
17 habitats, we've got information about corridors for  
18 migration, for desert species, so we have a lot of good  
19 information, and so we're able to say more about  
20 essentially the preference for the location in the desert.  
21 Outside of the desert, we don't have as much good  
22 information, so we have certain layers that we've added to  
23 the maps that show salt affected soils where people  
24 understand that these soils are poor for agricultural  
25 purposes and might have a better use, like maybe for

1 renewable energy. So those were identified, as well as  
2 landfills, toxic waste sites. Those are known locations  
3 as well. And so we were able to provide a different score  
4 than just a 50 for projects that are outside of the  
5 desert.

6           So the Environmental Scoring Matrix that we  
7 developed with the PUC is this matrix, I won't read all  
8 the examples, but the question -- there's five categories  
9 and the first question is, is it a Distributed Generation  
10 project or not, and only one category, number 5, deals  
11 with DG projects; and then location: is it in the DRECP?  
12 Is it on disturbed lands? Is it in a development focus  
13 area? And then what the score would be for those  
14 criteria. And so there are -- there are ways to be in the  
15 DRECP, to be in a DFA, and get a good score, but then you  
16 can get a better score if you're on disturbed lands within  
17 that DFA. And there's very little decision making here  
18 other than, on every project we have the cartographers put  
19 the point on the map and we know whether or not it's  
20 within a DFA or not. These DFAs are not contiguous. The  
21 alternatives, it's made up of multiple small polygons  
22 grouped more or less in a general region, but it's not  
23 contiguous, so a project could be what appears to be in  
24 the right area, but it's not, you know, it's not within  
25 what the agencies have determined to be the development

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417



1 focus areas.

2 But then we do use the Google Earth to go down  
3 on every project location to determine essentially is it  
4 sitting on Ag land, or is it on disturbed lands, is it  
5 within a substation, is it on a parking lot, or is it  
6 something else where the land can be determined, and then  
7 finally that Distributed Generation pretty much gets the  
8 best score because it's typically rooftop solar, ground  
9 mounted PV, at wastewater treatment plants, or on  
10 Brownfields, and so that received the best score. And  
11 again, the definition of DG is 20 megawatts or less, or  
12 less than 20 megawatts.

13 So the Scoring Process. Ensure that all  
14 projects had a unique CPUC or CEC ID number, and those  
15 numbers are on the map, cartography input those on the  
16 maps, and then we scored each alternative. And for this  
17 effort, because at this time we don't know which  
18 alternative will be a preferred alternative, or *the*  
19 preferred alternative, so the decision was made to score  
20 every project six times, and then average those scores to  
21 get them a final score. So that's how that scoring came  
22 up this time. In the future, when there is a preferred  
23 alternative, then there will be a score that would  
24 recognize that.

25 So here's the scoring process, and I pretty much

1 got ahead of myself and described this to you, but there's  
2 the map. And it's also here on the wall. This overlays -  
3 - as I mentioned, we added an addition to the DFAs for the  
4 DRECP, we added landfills, Superfund sites, salt affected  
5 soils, and then each project was identified and scored.

6 Here is just a close-up of the West Mojave that  
7 shows the number of projects that were scored. Those  
8 different colored areas are, for this particular exercise,  
9 DFAs, yes. And then this is a view of the Google Earth  
10 feature that has the projects also identified, surrounding  
11 Edwards Air Force Base there in the West Mojave.

12 And then after each map was produced, the  
13 databases were sorted and we went through and did a QC on  
14 the maps to make sure that every project had received a  
15 score. So as I mentioned, I'd like to just reiterate that  
16 this is a snapshot of the projects that are available to  
17 us and that are known to us at the time the scoring is  
18 done and, as we discussed earlier, these projects are  
19 fluid. So thank you very much. Any questions?

20 CHAIRMAN WEISENMILLER: Roger, for the 326  
21 projects, how many megawatts does that correspond to?

22 MR. JOHNSON: I'll check and I'll get back to  
23 you. I don't know.

24 CHAIRMAN WEISENMILLER: Okay. And we've talked  
25 -- you know, obviously this is an evolution where we

1 started out with RETI several years ago did the statewide  
2 environmental out of DRECP, we have much better data now  
3 on that area, so it really enhanced it there, but  
4 certainly a common complaint, I guess, as we've gone  
5 forward is sort of covering the rest of the state, if not  
6 the rest of the West. And so do you want to talk about  
7 where we are in terms of being somewhat more  
8 comprehensive, realizing that, again, we're not going to  
9 have the data quality anywhere near the DRECP sites?

10 MR. JOHNSON: Well, Chairman, that's what I'm  
11 hoping we'll get into that discussion in the roundtable  
12 discussion, to know what other databases are out there  
13 that are not the same quality as DRECP, but are available  
14 to us. I know that the Department of Fish & Wildlife has  
15 a statewide database of habitats, which would provide  
16 something. I know there's a CNDDDB database that the  
17 Department of Fish & Wildlife maintains that's -- it's a  
18 listing of actual sitings of animals and plants, so it  
19 just tells you what we know, it doesn't tell you what  
20 could be there, and which is an important planning tool,  
21 as well. And then outside of California, I know that the  
22 Western Governors is also working on information and I  
23 hope that we can have that discussion today.

24 CHAIRMAN WEISENMILLER: Okay, well, stay tuned  
25 for coming attractions.

1 MR. JOHNSON: All right. Thank you.

2 MR. VELASQUEZ: Good morning. My name is Carlos  
3 Velasquez. I work for the Generation and Transportation  
4 Planning Section at the California PUC.

5 Today I'm going to provide just a general  
6 overview of the RPS Calculator and talk about the  
7 portfolios that were created with this in the Long Term  
8 Procurement Plan Portfolio, portfolios in the 2012 LTPP,  
9 as well as the Transmission Planning Process Portfolios;  
10 and then, very generally, just talk about the ongoing  
11 analysis in regards to the Environmental Scoring  
12 Methodology that the CPUC is currently undertaking.

13 Just real quickly, E3 is the consulting firm  
14 that created the RPS Calculator. With E3's permission,  
15 we've used two of their slides here today.

16 Now, just diving right into the Project Scoring  
17 Methodology, in the RPS Calculator, each renewable energy  
18 project is scored on a 0-100 scale with, again, a score of  
19 0 being best, based on four scoring metrics: these are the  
20 Net Cost Score, the Environmental Score, the Commercial  
21 Interest Score, and the Permitting Score. The RPS  
22 Calculator calculates the weighted average score of these  
23 four metrics for each project, for a given portfolio.

24 Now, going through the Calculator's project  
25 selection methodology, the calculator ranks each of the

1 projects based on the weighted average score of the four  
2 metrics that you just saw. The lower the score, again,  
3 the higher the rank; so therefore, the higher the rank of  
4 the weighted average scores, the more likely it is for a  
5 project to be selected by the calculator, based on certain  
6 portfolio assumptions.

7           The calculator also allocates the lowest cost  
8 out-of-state projects to host states until all non-  
9 California WECC RPS targets for 2022 are satisfied. So  
10 that essentially means that the calculator allows all  
11 other states' RPS targets to be met first before making  
12 available those out-of-state projects to California for  
13 consideration based on their individual rankings for  
14 California to meet its 33 percent RPS target.

15           Now, once all the projects are ranked, the  
16 calculator selects in-state and out-of-state projects to  
17 fill transmission bundles. There are three categories of  
18 these transmission bundles; there are existing  
19 transmission, the second category is minor upgrades that  
20 are required on existing transmission, a third category is  
21 a new transmission as a bundle. The calculator then  
22 calculates the aggregate score of each of these  
23 transmission bundles and then these aggregate scores are  
24 used to rank these transmission bundles against what we  
25 call non-CREZ projects and REC-only projects. So non-CREZ

1 projects are essentially projects that are not in the  
2 Competitive Renewable Energy Zones; REC-only projects are  
3 those projects that California uses the renewable energy  
4 attributes thereof to satisfy our Renewable Net Short for  
5 the state. So the renewable attribute is taken into  
6 account, not necessarily the energy of these projects.

7           The calculator gives preference, again, to  
8 Discounted Core projects and this is because these  
9 projects are deemed to be the most commercially viable  
10 projects that are in the calculator. Discounted Core  
11 projects are projects that have either an executed or an  
12 approved contract and also the relevant environmental  
13 permit application is complete.

14           An executed contract is a contract between the  
15 IOU and the developer that's counterparty, and an approved  
16 contract is this executed contract that has an approval by  
17 the CPUC via the Commission's Advice Letter process that  
18 the Renewable Portfolio Standard Section undertakes. So  
19 they analyze these projects via an advice letter, a formal  
20 advice letter process.

21           Now, building an RPS Portfolio, again,  
22 Discounted Core projects are selected first, they're given  
23 preference, unless they require new transmission. And on  
24 this point, I'll talk a little more about it on the  
25 following slide.

1           After the Discounted Core projects are selected,  
2 other projects & bundles are selected on the basis of  
3 their ranking in order to meet the given Portfolio's  
4 Renewable Net Short (RNS). Okay, so  
5 the Renewable Net Short is an energy value indicating  
6 the renewable energy that is still needed in order to  
7 comply with California's 33% RPS target. Again,  
8 Discounted Core projects are "forced in," that is, they're  
9 given preference if they do not need new transmission.  
10 Or, if they need new transmission, with the caveat that at  
11 least 67% of the energy that's going to flow through that  
12 transmission line, or minor upgrade, comes from Discounted  
13 Core projects. So if this 67% energy threshold is not  
14 met, Discounted Core projects must then compete along with  
15 all other projects based on their individual rank.

16           Now, just real quickly, I'll go into the Long  
17 Term Procurement Plan Portfolios that were created via the  
18 2012 LTPP. These are portfolios that are used by the  
19 CAISO for operation on flexibility studies. These  
20 portfolios were adopted by the Commission in Decision  
21 1212010.

22           This chart here illustrates the weights of the  
23 metrics that were used in the LTPP Portfolio calculation  
24 within the calculator. What you see up here are the  
25 portfolio names, I'm looking at this chart over here.

1 Down here is you see the Renewable Net Shorts associated  
2 with each of these portfolios. Down here you see the  
3 metric score, and the third line here you see the metric  
4 score receiving a 70 percent weight. And in all four  
5 portfolios, that's the commercial interest score that gets  
6 a 70 percent weight. All other metrics, the three other  
7 metrics, including the environmental score, get the 10  
8 percent weight, and that's for the LTTP Portfolios.

9           The takeaway here is that the LTTP Portfolios,  
10 the portfolio results are driven by the Renewable Net  
11 Short that is the second row there, in addition to the  
12 commercial interest score, which is the 70 percent score.

13           Now, this is a summary of the LTTP Portfolios,  
14 again, down here you see the Renewable Net Shorts, those  
15 Renewable Net Shorts are calculated by -- and, by the way,  
16 Renewable Net Short is an energy value, so it's a gigawatt  
17 value. The numbers you see below, these are nameplate  
18 capacity values, okay? But just concentrating on the  
19 Renewable Net Short, just real quickly, the way these are  
20 calculated is that we take the IEPR forecast that the CEC  
21 calculates in 2012, and that forecast embeds demand side  
22 management assumptions, okay? What the CPUC has done in  
23 LTTP is that it has assumed incremental demand side  
24 management assumptions above and beyond what's included in  
25 the IEPR forecast, so incremental EE, photovoltaic, and



1 incremental combined heat and power. Again, we used the  
2 IEPR forecast mid case forecast and from that we subtract  
3 out these incremental demand side management energy  
4 values. From that, we net out existing renewable  
5 generation, the energy thereof, in addition to taking into  
6 account retirements of projects and taking into account  
7 scheduled projects. Given the fact that this was  
8 calculated in August of 2012, we take into account  
9 renewable projects that were scheduled to come on line by  
10 the end of 2012. Based on these deductions, we come up  
11 with the relevant renewable energy net shorts and what you  
12 could see here is that, regardless of existing what's  
13 netted out, what was scheduled to come on line, those  
14 assumptions are the same for each of these portfolios.  
15 The driver behind the difference between these Renewable  
16 Net Shorts are the demand side management assumptions for  
17 the three portfolios off to the left. For the right-hand  
18 portfolio, which it is a theoretical High DG/High DSM 40  
19 percent by 2030, the driver there is in large part the 40  
20 percent component, which is obviously higher than 33  
21 percent, and therefore a higher Renewable Net Short.

22           What I'd like to point out real quickly is the  
23 Discounted Core projects in each one of these portfolios,  
24 the projects that are given preference to, fill the vast  
25 majority of the respective Renewable Net Short. Generic

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 projects are those projects that, like the Discounted Core  
2 projects, have an executed and an approved contract, but  
3 unlike the Discounted Core projects, generic projects  
4 don't have the environmental permit application completed,  
5 so that makes them generic.

6 Again, down here you see the nameplate megawatt  
7 capacity values of the relevant renewable technologies  
8 that are filling these respective Renewable Net Shorts,  
9 and at the very bottom in blue you see transmission -- new  
10 transmission segments that the calculator essentially  
11 spits out in order to bring these renewable energy  
12 projects on line.

13 Now moving on to the Transmission Planning  
14 Process, the portfolios in this process were submitted to  
15 the CAISO jointly by the CEC and the CPUC on February 7th  
16 of this year. So in these portfolios, in this process, we  
17 proposed three portfolios, the Commercial Interest  
18 Portfolio, the Environmental Portfolio, and the High DG.  
19 In the Commercial Interest, preference again is given to  
20 projects with both power purchase agreements, that is, an  
21 executed or an improved contract, and the completed permit  
22 application. In the environmental portfolio, we give  
23 again preference to generation in environmentally  
24 preferred locations that the CEC just talked about. In  
25 the High DG Portfolio, that's essentially the same

1 commercial interest portfolio, but the variant here is  
2 that the commercial interest portfolio, this portfolio  
3 includes extra Small Solar PV near load. So we  
4 essentially take Small Solar PV projects in the calculator  
5 and put them into the Discounted Core, giving them  
6 preference over the other projects.

7 In this chart, we attempt to depict the metrics,  
8 the weights associated with the TPP portfolios. Up here  
9 you see the name of the case, the second line you see the  
10 Renewable Net Short, it's the same case, therefore the  
11 same Renewable Net Short. The third line, you see again  
12 the metric score receiving the 70 percent weighing and,  
13 again, down here you see the four metrics and their  
14 relevant weights.

15 The takeaway from this chart is the fact that,  
16 in the TPP Portfolio, the results are largely driven by  
17 the weights given to either the Commercial Interest Score  
18 or the Environmental Score.

19 Now, this chart here again illustrates the -- we  
20 actually were explicit in this chart in regards to the  
21 IEPR forecast that was used, again, we got from the CEC in  
22 2012, we used the same incremental demand side management  
23 assumptions in each of these portfolios, just real quickly  
24 drawing attention to the Discounted Core, again the vast  
25 majority of the Renewable Net Short is met by these

1 Discounted Core projects relative to the generic projects.  
2 Down here, again, nameplate values for the  
3 relevant technologies, and down there the new transmission  
4 segments that are needed. Now, I'd like to draw attention  
5 to the two columns on the left-hand side, the Commercial  
6 Portfolio and the Environmental Portfolio. Just going  
7 back to this chart here, as you can see, in order to come  
8 up with the TPP Environmental Portfolio, what we did was  
9 we essentially decreased the weight given to the  
10 commercial interest score from 70 percent to 10 percent,  
11 and simultaneously increased the environmental score from  
12 a 10 percent to a 70 percent. That's the only change that  
13 occurred in this portfolio, and what you see here is you  
14 see 3 megawatts of this more of biogas, you see 180  
15 additional megawatts of biomass, you see 21 megawatts of  
16 hydro that you didn't see before, you see 54 megawatts of  
17 Large Scale Solar PV, and you see 1,460 megawatts of Small  
18 Solar PV.

19 In the High DG case, again, same Commercial  
20 Portfolio, the only difference is that we forced in Small  
21 Solar PV near load, given that these are given preference,  
22 these projects; all of a sudden you see the Small Solar PV  
23 amount increase from 2,034 megawatts to over 4,200  
24 megawatts, and you potentially see a decrease in every  
25 single other technology because not that much of these

1 technologies is needed, especially Large Scale Solar PV.

2           So just very very generally, going over the  
3 ongoing analysis regarding the environment scoring  
4 methodology that the CPUC has undertaken. The CPUC Energy  
5 Division is examining Environmental Scoring Methodologies.  
6 We subcontracted Black & Veatch to analyze the  
7 environmental scoring and screening methodologies that are  
8 existing in the market. Apparently Black & Veatch is  
9 doing data testing, back testing for the robustness and  
10 comprehensiveness of its data. The RPS staff at the CPUC  
11 has reached out to the CEC and communicated with them in  
12 regards to two methodologies, the Renewable Energy  
13 Transmission Initiative (RETI) methodology, and the  
14 Environmental Data Task Force (EDTF) methodology that's  
15 apparently being worked on by a subgroup within the WECC.

16           In terms of collection of environmental data,  
17 Black & Veatch started analyzing this data in March of  
18 this year. It's collecting additional information to  
19 complete this analysis. The CPUC's RPS staff is also  
20 collecting project specific data in order to aid Black &  
21 Veatch's analysis. We expect that all data will be in by  
22 the end of this month.

23           In terms of Next Steps, pending the results of  
24 this analysis, the CPUC could find that it is necessary to  
25 revisit the Environmental Scoring Methodology being used

1 in the RPS Calculator, so that is the methodology that you  
2 just heard about from the CEC. The CPUC will collaborate  
3 with the CEC as this analysis develops and results become  
4 available to us.

5           So what happens if a new methodology is  
6 developed? The CPUC would hold a public stakeholder  
7 process with workshops in order to vet any proposed  
8 Environmental Scoring Methodology with the stakeholder  
9 community. And depending on the final results, we  
10 anticipate that by late this year, early next year, the  
11 development of any new environmental scoring or screening  
12 methodology and the stakeholder vetting process will have  
13 been completed.

14           For additional detail, you see that is the  
15 webpage on our CPUC website where the RPS Calculator,  
16 Regular Version High DG is housed. You see additional  
17 contact information of Jason Simon, the person, the staff  
18 who works on Environmental Scoring, and is the point  
19 person on that test, in addition to Nat Skinner who in  
20 large part leads along with BOD, leads the LTPP scenario  
21 studies at the CPUC. That's all I have for you today.

22           COMMISSIONER MCALLISTER: So thank you very  
23 much, that was great. I kind of just have a context  
24 question, really. So I guess the established kind of  
25 criteria or weighting is 70 percent, 10/10/10, right, for

1 the Commercial being 70 percent. So is there an explicit  
2 sort of effort to revisit that and figure out what a  
3 better weighting scenario might look like, and that's why  
4 the PUC is developing this new tool and all that? I mean,  
5 maybe you said that at the beginning and I missed it, but  
6 I'm kind of like looking for the context of, you know,  
7 what's the end goal here? Is it to come up with a  
8 different system to replace the one that's there? Or just  
9 tweak it?

10 MR. VELASQUEZ: Not necessarily to -- with the  
11 explicit assumption that it needs to be replaced, that is  
12 the methodology, we're looking to see how robust and  
13 comprehensive this data is by back testing data, at least  
14 this is my understanding Black & Veatch is doing this, to  
15 see whether or not we could do better in terms of  
16 environmental scoring, whether or not the environmental  
17 scoring that's currently being used and possibly including  
18 the weight, is relevant to the projects and relevant to  
19 the process.

20 COMMISSIONER MCALLISTER: So if you weighted  
21 environment more heavily, or in a different way, you might  
22 end up with different recommendations and that's useful to  
23 know going forward --

24 MR. VELASQUEZ: Without a doubt.

25 COMMISSIONER MCALLISTER: Okay, great. Thanks

1 very much.

2 COMMISSIONER DOUGLAS: Just a brief comment.

3 I'm not sure if this is a question. But as we continue to  
4 develop information in DRECP, my own belief is that the  
5 methodology used to score projects is going to have to  
6 differ. This is really an interim methodology and we're  
7 continuing to get better information, we're continuing to  
8 get more ability to create more consistency with what we  
9 look at in the desert versus outside of the desert,  
10 although not perfect consistency. And so I think that  
11 there's going to have to be an interactive dialogue as  
12 opposed to an analysis by a contractor that is too fixed  
13 on a methodology that has been used, say, this year or  
14 last year. That's one comment. I'd love to hear your  
15 thoughts.

16 MR. VELASQUEZ: No, we agree on that, that's why  
17 it will be a collaborative effort between us and the CEC  
18 and including the stakeholder process that would include  
19 everyone who has an interest in this.

20 COMMISSIONER DOUGLAS: And that second part, I  
21 think, is also important because there's a tremendous  
22 amount of interest and that's, I think, reflected by the  
23 number of people in the room, the number of inquiries that  
24 we've gotten, and certainly I've gotten quite a number  
25 directly about this process over time, and certainly in



1 the DRECP effort, we have a lot of partners among the  
2 local governments. And so we want to make sure that we  
3 have a process that is able to integrate and reflect their  
4 interests, as well. So I think there's a lot of work to  
5 do and we're at the formative stages of that. So, anyway,  
6 thank you. Thanks for being here.

7 CHAIRMAN WEISENMILLER: My question is the cost  
8 numbers. Obviously, the calculator builds off of RETI,  
9 which was done 2-'08ish in terms of the data in there.  
10 There's been an adjustment to the PV costs to make them  
11 more reflective of current realities, but we've always  
12 sort of hoped that there would be more of an across the  
13 board updating of the costs. Now, having said that, you  
14 know, Robert knows, we're dealing with such small margins  
15 here in a way that you're not going to see much change  
16 with those cost numbers, but presumably better data always  
17 helps.

18 MR. VELASQUEZ: We agree.

19 MR. STRAUSS: That's one of the things what  
20 we're looking into right now is how we could update those  
21 cost numbers, separately from the Black & Veatch effort,  
22 but the problem is getting good data.

23 COMMISSIONER MCALLISTER: Anything else? All  
24 right, thanks very much.

25 MS. KOROSEC: We did have -- excuse me -- one

1 question from one of our WebEx participants, from Karen  
2 Norene Mills. She's asking, "Is there data being  
3 collected to track impacts from projects to Ag land,  
4 particularly solar PV? And is there any coordination  
5 going on with the Department of Conservation?"

6 MR. VELASQUEZ: I would recommend that this  
7 person contact Jason Simon whose contact information is at  
8 the end of the slide to get this question answered.  
9 All right, so the person on the phone, the contact  
10 information there is [Jasonsimon@cpuc.ca.gov](mailto:Jasonsimon@cpuc.ca.gov), the phone  
11 number is (415) 703-5906.

12 MS. MILLIRON: Thank you. This is Misa Milliron  
13 again. And before we switch modes to the roundtable,  
14 there was one question that came in on a blue card to  
15 Roger Johnson from Mr. Pushkar Wagle -- I hope I  
16 pronounced your name right. I will go ahead and read that  
17 question off and then I'll allow you to go ahead and come  
18 up to the podium if you'd like to elaborate further, and  
19 that will give a chance for the other roundtable  
20 participants to join us at the table. The question is  
21 whether the environmental scoring methodology of the CEC  
22 takes into account environmental impact of transmission  
23 triggered by renewable generation projects.

24 MR. JOHNSON: The short answer is no. It's  
25 project specific, it doesn't look at what other impacts

1 might be associated with the transmission that would be  
2 needed to connect that project. And, Chairman  
3 Weisenmiller, I have those megawatts for you, it's 36,250  
4 megawatts associated with those 326 projects.

5 CHAIRMAN WEISENMILLER: Yeah, thank you. No,  
6 that was my recollection, is we were well over what we  
7 would need for the Renewable Net Short, even not going out  
8 of state.

9 MS. MILLIRON: Okay, so now we're going to shift  
10 modes to the roundtable and you can see the participants  
11 are on the slide there. In this roundtable, we're going  
12 to have each panelist provide about five minutes of  
13 prepared remarks addressing any or all of the questions  
14 that will be shown on the next slide as they pertain to  
15 their organization's experience. And we'll go ahead and  
16 follow the order of panelists given on the agenda.

17 During each five-minute panelist's segment,  
18 we'll allow questions from the dais only just to make sure  
19 that we get through all of the panelists. Once all the  
20 panelists have spoken, there will be about 30 minutes for  
21 discussion and questions among the panelists from the  
22 dais, the room, the WebEx, and the phone. If we run out  
23 of time for questions and comments from outside the dais,  
24 questions to the panel could also be posed during the  
25 public comment time immediately following the roundtable.

1           So next I want to give an overview of the  
2 questions, I'll just read each one of them for the benefit  
3 of those that may not have the attachment with the  
4 questions.

5           So the first one: "Considering the CPUC's  
6 current and long term renewable energy data needs related  
7 to CPUC scenario input and potential future database  
8 improvements, what type of environmental or land use data  
9 would be useful for the Energy Commission to continue  
10 gathering?" Roger showed you a little bit about the  
11 information that we are currently gathering, so you may  
12 have some reactions to that.

13           Secondly, "What enhancements to the data that we  
14 are tracking in environmental reporting to the CPUC that  
15 we're doing now would be helpful for scenario planning?  
16 What sources of out-of-state renewable project data are  
17 available for the Energy Commission's use? How can we  
18 access this data? And then what are some of the issues  
19 with working with various states' data sets and renewable  
20 energy-related databases in general that you may have  
21 experienced?"

22           Third, "What type of renewable energy metrics  
23 and reports are used and/or are reported by your  
24 organization?" Some examples that we've been asked to  
25 report on include total megawatts by County, types of

1 renewable facilities and their status, and we also get  
2 questions on the status of Power Purchase Agreements and  
3 those types of questions. But there's a great range of  
4 things that we report on.

5           The last question is, "What are important  
6 characteristics and data fields for a publicly accessible  
7 renewable energy project database that would be useful to  
8 agencies and stakeholders?" And we want to gather  
9 information on that.

10           So the goal of these questions is to address  
11 current limitations on the databases that we have  
12 available for reporting in the scenario development  
13 process, to gather ideas on how to fill some important  
14 gaps, get feedback on our current environmental scoring  
15 and reporting, learn about out-of-state and other sources  
16 of planning level environmental data, in-land use data,  
17 and get a sense of important elements of a renewable  
18 energy project database that would be useful for future  
19 reporting and scenario development activities, and useful  
20 to stakeholders.

21           Finally, I'd like to remind all of you of the  
22 opportunity to submit written responses and comments after  
23 the workshop by using the Docket, and instructions for  
24 that will be given at the end of the workshop, and they're  
25 also on the Notice.

1           So with that, I will turn it over to our first  
2 panelist, you've already seen him, it's Roger Johnson from  
3 the Energy Commission.

4           MR. JOHNSON: Thank you, Misa. On the draft  
5 agenda, I was way down there. So -- but since I've  
6 already spoken, I don't mind going first. I am  
7 interested, though, in the last discussion as far as the  
8 CPUC's long term renewable energy data needs, so I'm very  
9 interested in this new effort that they've undertaken to  
10 understand what environmental data is being collected.  
11 That's something that I'm very interested to know about.

12           The Energy Commission is using all the  
13 information that's been made available to us through the  
14 DRECP process; we're working with environmental groups  
15 using models that they've developed, or that they are  
16 essentially championing for looking at environmental  
17 effects; we're looking at data that we've developed  
18 through the DRECP, which I mentioned was new mapping  
19 information in the desert, looking at corridors and,  
20 again, the information that was used to develop the  
21 development focus areas as far as the different land uses  
22 and how those fit together.

23           So I'm glad that this is going to be a public  
24 proceeding and I get to participate in that, and to  
25 understand more about it and to help understand what data

1 is being used and how it will be used.

2           What enhancements to Energy Commission Data  
3 Tracking and Environmental Reporting to the PUC would be  
4 helpful for scenario planning? Well, that just gets down  
5 to the database that we're using, how can we improve that?  
6 It's really a locational database with points and then,  
7 with those points, then we go and use what other  
8 information we've developed to provide a score. So any  
9 improvement in the environmental -- especially outside of  
10 the desert would be much appreciated and would be helpful  
11 in that effort. So as I mentioned, I hope we can talk  
12 about what other databases might be available in  
13 California outside of the desert that could get better  
14 information than we have today on essentially endangered  
15 species and habitats that would be helpful for scoring  
16 projects located outside the desert.

17           I'm going to pass on the out-of-state question  
18 and I'm going to maybe come back to that after I hear from  
19 the other panelists about what's going on out-of-state.  
20 And I'd like to spend a little bit of time here in the  
21 metrics, reports that are used or are reported by your  
22 organization.

23           Here at the Energy Commission we regularly get  
24 requests for how many projects, how many megawatts located  
25 in my Senate District, in my Assembly District, in the

1 state, in the desert. And so we're trying to maintain a  
2 database that will be able to develop that information and  
3 report that out. So primarily the metrics are the project  
4 name -- and that's a real challenge there, too, because a  
5 lot of projects are known by different names. And then  
6 the same project will be purchased by somebody else and  
7 they'll change the name, and so sometimes we just can't  
8 talk about project names, so it would be nice if we had a  
9 universal project number that we could all refer to. The  
10 types -- that's important, as well. And here lately the  
11 projects have been changing their types of technology, so  
12 a project that started out as a thermal solar, now it's  
13 going to be a PV project. So it's important, I think, to  
14 keep track of that. The status -- we try to keep track of  
15 all the status of the projects to know which ones are  
16 still in permitting, which ones have finished, which ones  
17 could start constructions, which ones are in construction,  
18 and then, for these large renewable projects, there's also  
19 an issue of phases. Sure, we've permitted a thousand  
20 megawatts, but it's four 250-megawatt phases, and so when  
21 you start talking about what that means, so can we just  
22 count on the first 250? And then the market is going to  
23 decide whether or not those later phases get built?  
24 Definitely, you'll have to have transmission to  
25 accommodate all of it.

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417



1           And speaking of transmission, that's something  
2   that we also try to understand, although it's difficult  
3   because the ISO has a database of projects, but it's all  
4   confidential, so you have to do a lot of sleuthing to  
5   figure out what project actually is located in that  
6   database, what substation are they connecting to, and  
7   whether or not they have an approved interconnection  
8   agreement, or whether they even applied to have  
9   application for an interconnection agreement. That's  
10   something that these projects can't go forward without  
11   those interconnection agreements. So they might be  
12   pursuing PPAs, but without the transmission, that project  
13   shouldn't be considered as far along as maybe some other  
14   projects.

15           And then finally PPAs. For the PUC, that's  
16   pretty easy, they keep a database of the projects that  
17   they're looking at. It was nice to understand the  
18   difference between executed and approved because that's  
19   something that's always confusing to me is they have a  
20   Power Purchase Agreement, but that's just between them and  
21   the utility, it hasn't been improved by the PUC, which is  
22   the final approval they need. And then for the other  
23   projects for the publicly-owned utilities like SMUD and  
24   LADWP, I'm not sure that we have good information about  
25   those PPAs. So what we do is we go to the developers and

1 we try to get them to fill in the blanks for us, identify  
2 whether or not they've got an application for an  
3 interconnection study, identify whether or not they've got  
4 a PPA or if they're pursuing one, or if they have an  
5 executed one, and try to fill out our database with that  
6 information, which helps us to understand, again, the  
7 completeness of that project and the commercial attributes  
8 of that project.

9           So what's useful? Right now we're only  
10 publishing, like I mentioned, the name of the project, the  
11 location, the technology, and the size of the project.  
12 Beyond that, the data seems to change as far as the  
13 permitting process, the permitting status, and that  
14 changes weekly, monthly. I think it would be helpful,  
15 though, to add another column which would be status. And  
16 from that one status column, maybe we could identify  
17 whether or not it's in permitting, if it's approved, if  
18 it's under construction, or if it's operating. Right now,  
19 the project list that we have on the web for folks, again,  
20 we're only -- the REAT agencies are interested in tracking  
21 projects through permitting to see whether or not we can  
22 be of assistance to those projects to obtain their  
23 permits. After they get their permits, we drop them down  
24 in our database to a section called "Permitted," but we  
25 don't track them as far as construction -- Energy

1 Commission projects, we do, but projects outside of our  
2 jurisdiction, we don't track them for construction  
3 progress and to see how many phases have come on line.  
4 You know, I read the press and I see when projects are  
5 ribbon cutting for, and I know all of that, so I'll send  
6 that information to the person running the database to  
7 essentially update that project, you know, that so many  
8 megawatts are now on line. So I think it would be helpful  
9 to have a status on the projects.

10           And then ultimately I'd like to see the State  
11 have a database that can be accessed by developers,  
12 agencies. Someone needs to maintain that database, but at  
13 least there might be a way to submit changes, to someone  
14 that could update that database, to essentially just say  
15 that that project is no longer going forward, the county  
16 calls us and says "we haven't heard from that developer,  
17 so we've stopped working on that one," so we could mark  
18 that project as being inactive, or in suspension, or  
19 something like that and maybe contact the developer and  
20 see whether or not it should just come off the list.

21           The one thing I will say about our database is  
22 that I've never dropped a project, I've always just moved  
23 it to a different category because someday I'm going to  
24 get the request, "Well, where have people proposed  
25 projects in the past?" So even if they didn't develop

1   that project, somebody thought that was a location, so we  
2   might have a good database of potential project sites that  
3   people would like to start talking about.

4               MS. MILLIRON:   Thank you.   I think we have time  
5   for a question or two from the dais, and then we'll move  
6   to the next panelist.   Okay, next up we have Lorraine  
7   Gonzalez who is also from the Energy Commission.

8               MS. GONZALEZ:   Good morning.   So I'm Lorraine  
9   Gonzalez from the California Energy Commission.   I work in  
10   the Renewable Energy Office and I've been asked here today  
11   to go over the types of data that we collect in our  
12   office, in the Renewable Energy Office.

13              We have four types of data that we collect,  
14   Verification Data, Certification Data, Power Source  
15   Disclosure Program Data, and then one type of data that  
16   we'll be expecting in the future would be contract  
17   information from the publicly-owned utilities for their  
18   RPS Programs.

19              So with the Verification data, that information  
20   is collected, is reported from utilities as part of the  
21   RPS Program for RPS compliance, and the data that we  
22   collect for verification is a very simple form, it's just  
23   the facility name, the fuel type of the facility, the  
24   monthly generation from the facility, and then I.D.  
25   numbers for each facility, so those I.D. numbers would

1 include the RPS I.D., the WREGIS I.D., and the EIA I.D.,  
2 which is information from the Energy Information  
3 Administration, I think is what the acronym stands for.

4           As far as Certification data, this is  
5 information that is either reported by the facility, or by  
6 the utility on the facility's behalf. The Certification  
7 data is part of the Renewables Portfolios Standard, it's a  
8 self-certification program where the facility will give  
9 information to the Renewable Energy Office for  
10 certification for the RPS. And that would be information  
11 on the facility name, the location of the facility, the  
12 nameplate capacity of the facility, the commercial  
13 operation date, the fuel types of the facility,  
14 information on the owner, as well as identification  
15 numbers -- again, WREGIS identification, the EIA  
16 identification, and the FERC identification numbers, and  
17 then what balancing authority area the facility is located  
18 in.

19           For a power source disclosure, this is  
20 information that gets reported to the Energy Commission,  
21 it's reported by every utility in California that serves  
22 retail customers, and this information would include the  
23 facility name, the fuel type of the facility, the  
24 location, whether it's in-state or in California, or  
25 outside of California, and then the amount of electricity

1   procured in the previous calendar year, so that would  
2   include all procurement from each utility in California.

3           And then lastly, the Renewable Energy Office is  
4   working on a set of regulations for publicly-owned  
5   utilities for RPS compliance under SBX12, and so we've  
6   come up with a reporting form for the publicly-owned  
7   utilities to report on their RPS status each year. And so  
8   we are expecting an annual report to come in from every  
9   POU, every year, and it would include information on  
10   contracts that the utility -- the POU has either already  
11   entered into, or is planning to enter into, and so that  
12   would be information on the facility, the fuel type of the  
13   facility, and the location of the facility, the facility  
14   status, whether it's on line, under construction, planned,  
15   existing, new, and the contract execution and start dates,  
16   and the contract term, and then the end date if it is  
17   known, and the facility on line dates.

18           So that's basically everything that we collect  
19   in the Renewable Energy Office. If there are any  
20   questions on any of the information that we're collecting,  
21   or how we use it, or anything like that, I'd be happy to  
22   answer.

23           MS. MILLIRON: I just have a quick follow-up  
24   which was Roger gave a URL where the siting division  
25   usually posts -- well, is going to post quarterly

1 information. Is there a similar link that would be  
2 available for the public for some of this information?  
3 Because I know that you do have it in some places, but is  
4 there a quick link or somewhere that people can visit?

5 MS. GONZALEZ: At the moment, well, you know,  
6 for the Certification data, I think there is a list of  
7 facilities that are certified by the Energy Commission  
8 that is available to the public. As far as like the power  
9 source disclosure data, we do collect that information and  
10 if any member of the public would like to request that  
11 information, then they send a Public Records Act Request  
12 to us in our office, and then we can distribute the  
13 information that we're looking for. We have looked into  
14 posting all of those reports online for public access, but  
15 I still think that is something being considered at the  
16 Energy Commission. And I'm not sure what the plan is for  
17 the POU contract data because we have not started  
18 collecting it yet. I think we still need to discuss  
19 further how that information will be shared with the  
20 public.

21 MS. MILLIRON: Sure. Thank you. Next up is  
22 Robert Strauss who we heard from earlier, from the PUC.

23 MR. STRAUSS: The PUC sort of answered the  
24 questions in the presentation, so I don't have a lot to  
25 say. I do want to add a couple of things. Commissioner

1 Weisenmiller, Chairman Weisenmiller, mentioned the failure  
2 rate of these projects and one of the reasons projects  
3 fail is the inability to get permits, so to the extent  
4 that good environmental data is available to developers in  
5 the early development process, that would reduce the  
6 failure rate as -- of which self-selected projects in  
7 areas that are preferred rather than areas that are  
8 harmful. So having that information available to  
9 developers would be very useful, not directly to us, but  
10 to the whole system.

11           One issue that we've been dealing with, when I  
12 started doing this generation planning, we were looking at  
13 sort of system-wide resources and now we're looking at the  
14 connection of different resources at the busbar level,  
15 very precise data, and trying to forecast 10 years forward  
16 and saying, okay, where is this energy efficiency project  
17 that hasn't been -- the program hasn't been fully  
18 developed yet, where are the load reductions going to come  
19 from that project 10 years from now so we can anticipate  
20 the reliability impacts? You know, and we're trying to do  
21 that for all the process, the small PV being one of them,  
22 you know. There's no easy solution to this, but we're  
23 working on it. You know, to the extent that just the  
24 concept of if we're getting information to the busbar  
25 level, it's what's really needed for transmission



1 modeling, and there's no easy solution, we have to do the  
2 best using the transmission planner knowledge and  
3 expertise to try to forecast that, but better data is  
4 always better.

5 In terms of what data do we need for our actual  
6 processes, that's sort of why we hired the consultant is  
7 to look into -- we don't really have a strong answer for  
8 that yet. That's what we're looking into, saying what's  
9 the most useful data.

10 MS. MILLIRON: Any questions?

11 COMMISSIONER MCALLISTER: I just have a couple.  
12 So Lorraine, most of what you talked about was RPS  
13 compliance-related, right? Is there any other -- does the  
14 Commission give any other use to that data sort of for  
15 just globally speaking? Because pretty much we do it  
16 because of statute and compliance? Or is there some other  
17 reason that we do that or place we report it?

18 MR. STRAUSS: Well, some of the environmental  
19 data is used for --

20 COMMISSIONER MCALLISTER: That was actually on  
21 Lorraine, back to Lorraine, sorry.

22 MS. GONZALEZ: That's okay.

23 MR. STRAUSS: Sorry.

24 MS. GONZALEZ: No problem.

25 COMMISSIONER MCALLISTER: I do have a question

1 for you, though, right after this.

2 MS. GONZALEZ: So the power source disclosure  
3 program data does come from a different program that's not  
4 part of the RPS, and that information is used in someone  
5 else's at the Energy Commission, as well as public  
6 analysis when any member of the public or any advocacy  
7 group wants to determine what a utility is doing as far as  
8 importing electricity into the state, or what their  
9 electricity sources look like, so the power source  
10 disclosure program data is used for that purpose. It's  
11 also used -- I think it's used in some parts for the  
12 Energy Commission's Renewable Net Short, as well as to  
13 calculate -- the Energy Commission has a webpage for  
14 California's total system power, and so the Power Source  
15 Disclosure Programs out-of-state procurement information  
16 is used to calculate California's total system power mix.  
17 Let's see, I think Certification data is pretty much --  
18 it's collected just to be used as information to determine  
19 whether a facility is RPS eligible or not and the  
20 Verification data is used to determine whether a utility,  
21 the procurement claims from each utility for their RPS  
22 status do match up with generation data collected from  
23 outside sources, to make sure that procurement does not  
24 exceed generation.

25 COMMISSIONER MCALLISTER: Great. Okay, thank

1 you. So, Robert, I do want to just -- so I totally agree  
2 with you, you know, more data, better data, is better  
3 generally in theory, right? You kind of have to be  
4 prepared for it when you get it, right? So be careful  
5 what you ask for, I guess, in some cases. And also be  
6 consistent with what you ask for, so over time you can do  
7 the kind of longitudinal understanding to do both  
8 backcasting -- accurate backcasting calibration,  
9 validation, and all that kind of stuff is going to help  
10 you going forward. And I would just point out that we  
11 kind of have similar -- we're talking about larger scale  
12 transmission level busbar and up, really -- but  
13 appreciating what's going on at the customer level and at  
14 the distribution level, I think, is increasingly something  
15 that we have to figure out how to do better. And on the  
16 energy efficiency side, I think there's an equivalent set  
17 of problems -- you mentioned it, and that's kind of why  
18 I'm bringing it up -- of trying to actually not just sort  
19 of sit back and kind of anticipate, "Oh, where is this  
20 energy efficiency going to be?" And sort of look into the  
21 crystal ball, in a way, but also really target programs  
22 going forward so that we can constrain the scenarios to a  
23 more narrow band, and then also have the data coming in  
24 that allows us to understand the evolution going forward  
25 to see if our predictions were right. So I think I'm

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 really excited to be working with the PUC on this data  
2 issue with Peevey's office, with President Peevey's  
3 office, and with the Energy Division to really -- I think  
4 really much more intentionally and collaboratively figure  
5 out what resources we need on the program side, on energy  
6 efficiency, to collect the right data, have it accessible  
7 to the right people, to be able to have this sort of  
8 conversation that we're having about transmission planning  
9 today and environmental attributes, about program impacts  
10 and program design going forward on the energy efficiency  
11 side. So I think this data discussion is, since we have  
12 such a much more granular world, I think it's rearing its  
13 little head all the time in different scenarios and  
14 different context, and I think it's important here and  
15 equally in other areas, so just keeping that in mind more  
16 broadly.

17 MS. MILLIRON: I think we'll move on to --

18 COMMISSIONER MCALLISTER: But there wasn't a  
19 question there, sorry.

20 MS. MILLIRON: -- just again, since I'm the  
21 timekeeper, I guess I'll keep moving along to Carlos  
22 Velasquez, who we heard from also. I don't know if you  
23 have additional comments or -- okay. So next we have Bill  
24 Condon with the California Department of Fish and  
25 Wildlife, and I invited him to talk about some of the

1 sources of data that the Department may be able to lend to  
2 this effort.

3 MR. CONDON: Good morning, everybody. It seems  
4 to me that here's an opportunity to talk about what sort  
5 of data would be ideal to be collected related to projects  
6 and it's a general question and I'll try to make it  
7 specific to renewable energy projects, but regarding data  
8 collection related to projects which in turn collectively  
9 can inform decisions about regional planning, in our  
10 experience one of the challenges is to collect data in a  
11 consistent manner, to apply assurance quality control  
12 procedures, to provide sustained support to data  
13 collection. It's a common scenario where in a burst of  
14 energy people get together within the department and come  
15 up with a database to collect, to maintain data on, and  
16 then there's a lack of follow-through in the long term  
17 which undermines the quality and reliability of the data  
18 and its usefulness for various applications. So if one is  
19 to embark on data collection, there has to be a sustained  
20 commitment to support that effort, otherwise a lot of  
21 effort could go to very little good effect.

22 That aside, specific to the question 1A, what  
23 types of environmental end-use data would be useful for  
24 the CEC to continue to gather, I think as a lead agency  
25 under CEQA, the CEC has an opportunity to encourage

1 developers to, in conjunction with their project planning,  
2 to collect certain types of data in a fashion that is  
3 consistent with the department's Natural Diversity  
4 Database; that's a database maintained by the department  
5 and many of you are familiar with, RareFind is the data  
6 query and reporting platform through which CNDDDB data is  
7 used and accessed. It's to everybody's benefit to fill in  
8 information gaps, to share information on locations of  
9 sensitive resources, rare occurrences, to help inform  
10 decisions about project siting. And the more the maps are  
11 filled in with information on rare plants, for example, or  
12 nest sites and that sort of thing, the less of a chance  
13 for unpleasant surprises in the process of project  
14 planning and construction. We want to help ensure that  
15 the prospects for that happening are reduced over time.

16           Also, again, project-related data should be  
17 collected in a consistent manner across the board. One of  
18 the things we're concerned about, many are concerned  
19 about, is tracking loss of habitat, type of habitat that's  
20 lost, project-related impacts to species in terms of  
21 mortality or even nesting attempts, also, tracking  
22 mitigations related to projects. Tracking in a consistent  
23 manner, securing of habitat of land and maintenance of  
24 those lands is mitigation for impacts related to the  
25 permitted project. It's become clear in our experience

1 with the DRECP that we, as a department, speaking for our  
2 department, we haven't been very good in even tracking  
3 CESA, California Endangered Species Act-related  
4 mitigation, and I expect that's probably true for CEQA  
5 lead agencies, as well, it's probably a mixed story there.

6           So one thing I'd like to make a plug in for and  
7 acknowledge this is CEC, in helping to fund the vegetation  
8 surveys that were completed for the DRECP, that  
9 information covers a large area of the deserts of  
10 southeastern California, is proven really useful in  
11 helping inform decisions about where to focus or  
12 concentrate renewable energy development, and that same  
13 information will carry over and be useful to other sectors  
14 of the economy. So I expect there are similar gaps in  
15 that level of information, national vegetation  
16 classification system level vegetation information, down  
17 to the alliance levels, and that would be useful in other  
18 contexts for planning purposes.

19           Just to let you know, the department does have a  
20 large geographic data branch, a number of tools are  
21 available to the public, stakeholders, planners. Besides  
22 the California Natural Diversity Database, there's VegCAMP  
23 which is the Vegetation Classification Mapping Program,  
24 that's the program through which the department carried  
25 out the vegetation surveys in the desert, for example.

1 That information is available to all who are interested.  
2 There's also -- we do have the Biogeographic Information  
3 and Observation System, that's the online query database  
4 that can, again, identify sensitive resources. And there  
5 are other tools that are available via the Department's  
6 website.

7 But with all that, these tools have to be  
8 applied intelligently, in an informed manner. And I think  
9 the best way to help ensure that is the human element. We  
10 do encourage developers, planners early on in discussions  
11 to contact our staff in the regional offices. They're in  
12 the best position. They have the institutional knowledge,  
13 so to speak, to help flag resource issues in areas that  
14 are under contemplation for development, help interpret,  
15 help the developers and planners ask the appropriate  
16 questions when using these tools that the department  
17 maintains.

18 In the workshop that many of us participated in  
19 last year regarding California Condor and Golden Eagle  
20 conservation related to renewable energy, many of the  
21 stakeholders identified the need for early participation  
22 in the process of informing decisions about transmission  
23 location planning. Obviously, where transmission goes,  
24 projects will follow and I guess visa versa, it's an  
25 iterative process, obviously. So the Department ideally



1 would like to be more involved in those early discussions;  
2 again, we're not a decision maker in this case, but we'd  
3 like to be in a position as sort of the State's consultant  
4 for biological resources to sister agencies to help inform  
5 their decisions.

6 And finally, in discussions about the  
7 environmental scoring process, we think it would be  
8 effective if we could participate in those discussions  
9 between CPUC and CEC, again, to at least help inform  
10 decisions about the part of that scoring process that  
11 pertains to resources. So it's mainly I pointed out some  
12 resources that the Department maintains and makes  
13 available for planners, but I'm putting a plug in for  
14 consistently and early conferring with the Department to  
15 give them an opportunity to provide input on planning  
16 decisions.

17 I think I've pretty much covered what I wanted to  
18 cover regarding these questions.

19 MS. MILLIRON: Thank you. Any questions? We're  
20 running a few minutes behind, but I think we have time for  
21 one question, at least.

22 COMMISSIONER MCALLISTER: Thank you very much,  
23 that's very helpful.

24 MS. MILLIRON: Okay, so I'll turn it over to Mike  
25 Sintetos of the Bureau of Land Management, who we

1 collaborate with on the REAT Database in keeping our  
2 projects up to date.

3 MR. SINTETOS: I'll try to get us back on  
4 schedule a little and keep it quick.

5 MS. MILLIRON: Thank you.

6 MR. SINTETOS: My name is Mike Sintetos. I'm the  
7 Renewable Energy Program Manager for the Bureau of Land  
8 Management's California State Office here in Sacramento.  
9 I want to talk to you a little bit about the project  
10 applications on our lands that we manage and the data that  
11 we collect, and I'll just touch briefly on some of the  
12 land use information that might be useful in terms of  
13 procurement process moving forward.

14 So we manage \$14 million acres of public lands in  
15 California, about ten million acres in the California  
16 desert. We permit a number of uses on those lands and  
17 renewable energy is becoming increasingly one of those  
18 uses. Currently, we've got 20 solar applications and nine  
19 wind development applications on BLM lands within the  
20 State of California, and then we've already approved seven  
21 projects, seven solar projects and two wind projects, over  
22 the last three or four years.

23 In terms of the data we collect on those  
24 projects, and we've been trying to collaborate with CEC to  
25 make sure that they have this information, on our public

1 website we have a list of all the projects that have  
2 applications in on our lands, megawatts, size, acreage,  
3 location, as well as we also have a GIS database with the  
4 actual project footprints in GIS that's available to the  
5 public, and we update that monthly. So we try to keep  
6 that pretty current.

7 In addition, the projects that have actually  
8 begun the program process, we have extensive information.  
9 As we enter our environmental review process, we of course  
10 publish extensive information in terms of the potential  
11 environmental impacts of the projects. We generally do  
12 have information from the developers in terms of the  
13 status of their PPA and Interconnect Agreement, and that  
14 kind of thing, but again that's just from conversations  
15 with the developers -- and that's all on our website, so  
16 at least I can provide you the link to that if that would  
17 be useful.

18 In terms of -- oh, well, I guess I was also going  
19 to mention, Roger, you're talking about post-permitting,  
20 making sure that we're still keeping track of what's going  
21 on with some of these projects. We do track the projects  
22 that we've approved and we have construction updates and,  
23 you know, online dates and things like that that we can  
24 share if that's useful going forward.

25 In terms of land use information and

1 environmental information that can be useful in some of  
2 these procurement processes that we're talking about, I'm  
3 very encouraged to hear that the DRECP is already a big  
4 part of that. I was just going to add that, on top of the  
5 DRECP, if we're looking at little bit more broadly than  
6 the California Desert, the BLM does have a Programmatic  
7 Environmental Impact Statement for solar energy  
8 specifically that covers the six western states, including  
9 California. And so we already have decisions made on  
10 public lands that are available, or unavailable for solar  
11 energy development across the west. I would say that's  
12 not at the level of granularity that we're collecting data  
13 for, for the DRECP, which makes the DRECP more valuable,  
14 but it is something that can be useful when we're looking  
15 west wide in terms of availability of lands.

16           The one thing that I just wanted to echo on the  
17 DRECP that I think several others have already said is  
18 that -- I think Roger used the phrase -- it's a snapshot.  
19 So the six alternatives that were presented in December  
20 were a snapshot at that time, and so when the draft EIS  
21 comes out, there will be a preferred alternative  
22 identified by the agencies involved, alternatives may have  
23 shifted a little bit, so I would just encourage the PUC to  
24 continue to pay attention to that process and continue to  
25 be involved. All of those development focus areas aren't

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 necessarily equal and some may have greater environmental  
2 impacts than others. So just be aware of how that process  
3 is evolving and the potential outcomes. And I'll stop  
4 there.

5 MS. MILLIRON: Thank you. Questions? Okay,  
6 again, we're sticking to the agenda order, so we'll kind  
7 of move over to this side of the table and pass it over to  
8 Paul McCarthy, who is here from Los Angeles County.

9 MR. MCCARTHY: Yes, thank you. What I think we  
10 are alluding to here, but nobody has come out and said it  
11 outright, is that we need a two-way street here in which  
12 we at the local government, for example in L.A. County  
13 we're in communication with Roger on a regular basis,  
14 telling him about what projects are being filed, the name  
15 of the project, we do have a project number sign because  
16 we have the same problem Roger has, we have two projects  
17 with the same name in the county, and some, they do change  
18 ownerships, and they change names, and so we are always  
19 having to update our computer database in that regard.  
20 And we're happy to help the State by sharing that  
21 information. So we've got the acreage, we've got the  
22 megawatts, certainly of course the location, the name of  
23 the owner, the name of the application, and if it's in a  
24 significant ecological area that would be noted, and that  
25 might be a red flag for Fish & Game to take a look at that

1 case. So we're giving data back to the State in that  
2 regard on an ongoing basis.

3 Just alluding to Commissioner Weisenmiller, just  
4 a few totals while you were raising some questions there,  
5 we've had a total of 40 projects filed in the  
6 unincorporated area of Los Angeles County, so that does  
7 not include the Cities of Palmdale and Lancaster. But in  
8 the unincorporated area, we had 40 cases filed. We've  
9 only had five approved thus far. Ten cases have been  
10 withdrawn and two have been denied. We have 23 pending.  
11 So that's an approval rate of 13 percent, which is  
12 considerably less than the 40 percent that you discussed  
13 earlier.

14 One of the problems that I see is that, of  
15 course, we're dealing with an outdated countywide General  
16 Plan which was adopted in 1980, long before anybody talked  
17 about renewable energy. We have a local plan in the  
18 Antelope Valley which was adopted in 1984, long before  
19 anyone was talking about renewable energy. And so there's  
20 a fair number of people out there, living out there, who  
21 have lived their lives and are getting close to retirement  
22 that are saying, "This wasn't described to me as a likely  
23 development scenario, there was no mention of it at all in  
24 the community plans at that time," and they feel there's  
25 been a double cross.

1           COMMISSIONER MCALLISTER: Just to -- one quick  
2 question -- so of those 40 projects or so, how many of  
3 them -- so are the approved ones the ones in the queue?  
4 Or which ones of those are in the database, that 326 that  
5 Roger was talking about?

6           MR. MCCARTHY: Well, Roger has the number of all  
7 -- they come to a total of 482 megawatts, 4,177 acres of  
8 the five approved ones.

9           COMMISSIONER MCALLISTER: Well, so when they get  
10 approved, then you tell Roger about it, or --

11          MR. MCCARTHY: Oh, yeah.

12          COMMISSIONER MCALLISTER: -- but not before that.  
13 So he's got five, but he doesn't have the 40.

14          MR. MCCARTHY: Well, he knows about the cases  
15 that have been filed, yes.

16          COMMISSIONER MCALLISTER: Okay, great.

17          MR. MCCARTHY: And we update them as this goes  
18 on. And we plot them -- we're giving him the GPS  
19 coordinates and we plot them on our map, and so we can  
20 locate them easily and give the public a sense of what the  
21 scope of the situation is.

22          What I think the public would like, and so now  
23 we're trying to play catch-up, where we're very  
24 appreciative of the grants that have been given by the  
25 Energy Commission through the DRECP, it's going to be

1   tremendously helpful, and we're trying to play catch-up  
2   now with the Antelope Valley General Plan Update, and  
3   we're also doing the countywide General Plan update,  
4   particularly in the AV plan update to address some of  
5   these energy issues, to set some rules of the road, etc.  
6   And so, if that had been on the books five years ago, or  
7   10 or 15 years ago, it would have been very helpful, but  
8   it's not and we're playing catch-up.

9           One issue that, again, we were talking about  
10   maybe putting up red flags for developers, the industry,  
11   consistently the problem across the Antelope Valley and  
12   L.A. County is a shortage of water. All of the projects  
13   that have been approved and have gone to the construction  
14   stage, and we have several that are near completion now,  
15   have used much more water than was estimated in the  
16   original EIRs, and the area is going through a water  
17   adjudication, it's in court being adjudicated, so this is  
18   a very very difficult issue to surmount in the EIR. And  
19   so, just as Bill mentioned about people need to be advised  
20   early on about certain issues that might be of concern to  
21   Fish and Wildlife, I think the Public Utilities Commission  
22   and the Energy Commission could red flag this and let  
23   developers know this is going to be something that's very  
24   very difficult for you to deal with.

25           It was amazing, just last week I was out in the



1 Little Rock area of the Antelope Valley and the California  
2 Department of Water Resources has a pumping station there  
3 for the aqueduct, and they want to install 70 acres of  
4 photovoltaic on their site; they don't have the water to  
5 service that facility, even though they've got this huge  
6 aqueduct going right next to it, because that water hasn't  
7 been treated properly as yet, the treatment plants are  
8 further downstream. So they have to bring the water in on  
9 a truck to deal with the project. So when the Department  
10 of Water Resources doesn't have enough water, you know we  
11 have a problem. So keep that in mind, and if you can red  
12 flag that for the future developers.

13 In terms of also what we would like is -- and I'm  
14 glad BLM mentioned about DRECP as being a picture of a  
15 moment in time -- what we need are updates; in other  
16 words, you begin with X number of acres in the desert  
17 terrain, okay, now 5,000 has been consumed for this  
18 project, 1,000 with that project, and it's constantly  
19 being updated. There are two areas -- I've just alluded  
20 to the first one, the general plan, the overview that we  
21 deal with in the planning agencies, and then we deal with  
22 these issues at the local level, a case-by-case level, I  
23 should say, when the Applicant comes in, and there's  
24 another EIR at that time, usually. And there are two  
25 areas of the EIR in which the kind of data that you could

1 provide us would be very very helpful, one is with regard  
2 to cumulative impacts. Citizens will come in and say,  
3 "I'm worried about the Mojave Desert. What's the big  
4 picture? How much damage has been done? How much more  
5 can the desert accommodate?" So by constantly updating  
6 the DRECP data, you would do us and every Applicant an  
7 enormous assistance in terms of developing their  
8 individual project EIRs. I think it's beyond the scope of  
9 what any individual Applicant could handle; the DRECP is  
10 unique in that regard, they're the only show in town. And  
11 it would be very very useful data.

12           Also, there are going to be projects in which we  
13 have an EIR that concludes there are significant impacts  
14 that cannot be mitigated to levels of less than  
15 significance, and therefore we have to come up with a  
16 statement of overriding considerations. Again, the kind  
17 of data that could be provided to us about the need for  
18 energy, where are we with regard to our energy demand and  
19 our energy supply and what we need, that is what we really  
20 need in the statement of overriding considerations.  
21 Currently, we do rely heavily on the State wants to have  
22 33 percent renewable by 2020, but I'd like to get a lot  
23 more meat in there and a lot more data, and that would be  
24 very very helpful.

25           So the two kinds of data, you've got the DRECP,

1 maybe bio-related, environmental-related data, and then  
2 the nitty gritty about megawatts, how much -- what our  
3 capabilities are and what we're going to need in the  
4 future. With regard to out-of-state data, we obviously  
5 don't communicate with agencies out-of-state on a regular  
6 basis. Our main concern that I can see with out-of-state  
7 projects would be whether or not they might want to bring  
8 additional transmission lines through our jurisdiction  
9 and, if that's going to be the case, we'd like to know  
10 about it as soon as possible because the transmission  
11 lines, of course, have been a major issue.

12           We have not only the Edison Tehachapi line coming  
13 through, but we also have the Barren Ridge from the  
14 Department of Water and Power, LADWP. And so we worked  
15 with the people, the public out there on each of those.  
16 And the Barren Ridge is brand new, there wasn't a whole  
17 lot of transmission line there before, but the Tehachapi  
18 in some respects is bigger, it's higher, and so on. And  
19 so there were changes, a lot of changes in the visual  
20 impacts that upset some people, and we had quite a bit of  
21 feedback from the public in trying to explain to them we  
22 don't approve or deny these projects, and that's not what  
23 they wanted to hear.

24           So again, that gets back to, if we could give the  
25 public a sense, I think, when we're working on the AV

1 update, when we're working on and talking to them about  
2 Tehachapi, they want to know how much more of this is  
3 there coming, how many more transmission lines are coming?  
4 How many more acres of solar do you need here in LA  
5 County? And that's, I think, the real challenge for the  
6 State is to try to put all this data together and then  
7 say, "Well, Kern County, we're probably going to need X  
8 number of acres, L.A. County X number of acres," that's  
9 really difficult. But it would be enormously helpful  
10 because I think we could then possibly reassure some  
11 people that, "No, the whole AV will not be photovoltaic  
12 from one end to the other." That's what they fear, that's  
13 what they see in their mind in many instances. I'd like  
14 to be able to tell them there's a finite limit and here's  
15 approximately where that finite limit is.

16 COMMISSIONER DOUGLAS: You know, just a brief  
17 comment, that's a really interesting point, Paul. I mean,  
18 you raised a number of interesting points, but in terms of  
19 the planning assumptions, I think that there is an  
20 opportunity to take something like the DRECP and step down  
21 planning assumptions, working with local governments so  
22 that you're looking with us at the statewide target, but  
23 you're saying very specifically, okay, well, so the  
24 proportion of that in LA County might be this many  
25 megawatts, and let's go about seeing how we can facilitate

1 areas for, you know, at least as many megawatts and  
2 provide for that in the General Plan, the planning  
3 documents, understanding of course that, as you all do  
4 very well because of the amount of permitting that you do  
5 of renewable energy projects, that not every site pans  
6 out, and in areas with a high amount of parcelization, for  
7 example, you really do need more opportunities rather than  
8 fewer for developers to negotiate with land owners and  
9 reach agreements on what sites might actually be  
10 developed. But even within that context, with that needed  
11 flexibility, I think it is helpful to have planning  
12 assumptions and targets.

13 MR. MCCARTHY: Yes.

14 MS. MILLIRON: Thank you. Our next panelist,  
15 we're going to go to the phone, is Byron Woertz from  
16 Western Electricity Coordinating Council. So if we can  
17 unmute the line? Thank you.

18 MR. WOERTZ: Great. Thanks very much. I think  
19 I'm unmuted. Is everybody hearing me okay?

20 MS. MILLIRON: Yes, thank you.

21 MR. WOERTZ: Great. Thanks for letting me join  
22 the discussion here. I'd like to give you a brief  
23 overview of some of the things that are going on at WECC  
24 because there's some very interesting, I think, databases  
25 regarding environmental data, as well as some work is

1 being done with renewable resources that will help inform  
2 the discussion.

3 Let me begin by reminding everybody that WECC  
4 does work at the planning level; our goal is to inform and  
5 facilitate activities at the siting level. There's no  
6 desire to replace any siting level project reviews, that's  
7 not what we're trying to do. And our focus is on the  
8 Western Interconnection as a whole. Many of our  
9 activities do get into state level reviews, but for the  
10 most part we are looking at the Western Interconnection as  
11 a whole, the Western U.S. plus Alberta, British Columbia,  
12 and a quarter of Mexico.

13 First of all, WECC has developed a set of  
14 preferred environmental and cultural data for use in  
15 transmission planning. The data is available on the WECC  
16 website, it's publicly available data, and it includes  
17 Federal, State, Provincial, Native American, and private  
18 sources, with over 100 separate data sources. Some  
19 examples of where we get the data, we use U.S. Fish and  
20 Wildlife Service's Wilderness Area data, International  
21 Historic Trail data, Wild and Scenic Riverways, a whole  
22 host of individual data sources to inform decisions that  
23 are made at the planning level for transmission planning.  
24 One of the main uses of this data, in addition to just  
25 making it available publicly so that anybody interested in

1    seeing this can go to the website and get the data, one of  
2    the main uses within WECC is to assign risk classification  
3    designations for each affected land area within the  
4    Western Interconnection.

5               We contracted a major piece of work a couple of  
6    years ago to prepare a report entitled "Environmental  
7    Recommendations for Transmission Planning," and one of the  
8    main outcomes of this was a four-level, four-tiered risk  
9    classification system similar to what one of the previous  
10   speakers mentioned, where the lowest numbers assigned to,  
11   say, the preferred areas for development, the risk  
12   classification one is the lowest risk of encountering an  
13   environmental and cultural issues. This is largely  
14   existing transmission corridors or rights of way, the  
15   thinking being that if there's already something in the  
16   ground, there's probably less risk associated with using  
17   that same corridor right of way if you're able to do that  
18   because the land is already disturbed.

19              Risk classification 2 is low to moderate risk of  
20   environmental or cultural issues. Some mitigation may be  
21   required for a project that was to traverse a Category 2  
22   area. Risk Classification 3 is a high risk of  
23   environmental and cultural issues, and somebody who tried  
24   to place a project here should expect that there's going  
25   to be some mitigation required.

1           Finally, we get to Risk Classification 4, which  
2   are exclusionary, as where transmission development would  
3   be precluded by legislative and/or regulatory prohibition.  
4   For example, you would not try to site transmission going  
5   through Yosemite National Park, it just would not work.

6           The data that we use for informing these  
7   decisions, the environmental and cultural databases, it's  
8   updated biannually through the TEPPC open season process,  
9   you may have heard of TEPPC, one of the committees of  
10   WECC, the Transmission Expansion Planning Policy  
11   Committee. Every two years it requests, or it allows  
12   stakeholders to request studies on the transmission system  
13   that we amended the process this last time to also request  
14   updates to environmental data. And that could be new data  
15   sources, it could be revised data.

16           This leads up to the WECC 2013 Interconnection-  
17   Wide Transmission Plan, which is currently under  
18   development, that's the culmination of studies that are  
19   completed during the two-year planning cycle, in this case  
20   it's the 2011-2012 study cycle. Notably, in this study  
21   cycle we're performing 20-year study cases and these are  
22   capital expansion reviews of a 20-year planning horizon,  
23   where you're trying to answer the question under certain  
24   scenarios what transmission expansion would be needed to  
25   meet or to connect the generation that would be required



1 to meet load. We're currently working through those now  
2 and, in fact, the set of 20-year study results will be  
3 released tomorrow on the WECC website. Each of the 20-  
4 year study case reports will include a Generation Plan and  
5 a Transmission Plan. The Generation Plan will indicate  
6 what mix of generation resources are needed to meet load  
7 20 years out, in this case 2032, as well as the  
8 Transmission Plan for the transmission expansion that  
9 would be required to meet the needs of that generation  
10 portfolio.

11 In the studies that we do, generation selection  
12 is based on the levelized cost of energy, and it also  
13 includes Grid costs so that we can accommodate and  
14 recognize that two comparable projects that could be  
15 needed for the generation mix would have different overall  
16 costs if one was located near a load center, and one was  
17 remote. All of those factors will be described in the 20-  
18 year study case reports.

19 Another, what I think is kind of an exciting  
20 feature of the studies this time around when we're using  
21 our new what we refer to as the Long Term Planning Tool,  
22 is the ability to bend lines according to environmental  
23 contours. When the tool determines what transmission is  
24 needed, it produces straight lines to connect one point to  
25 another; however, we also have added to the tool the

1 environmental data that I referred to earlier so that we  
2 can create contours showing the more and less preferred  
3 environmental areas, and at least figuratively bend the  
4 line so that they would conform to the lower environmental  
5 risk areas, and we would be able to produce a transmission  
6 plan that would be as environmentally friendly as  
7 possible.

8           Some of the current things we're working on,  
9 we're developing a methodology for representing cultural  
10 resource data, recognizing that that's important, as well  
11 as environmental data. We're expanding our Canadian data  
12 resources. We're also developing a data door to make  
13 current environmental data more accessible and easier to  
14 use for any stakeholder who wants to see what this  
15 environmental data looks like for a specific geographic  
16 area.

17           And finally, we're continuing to evaluate  
18 environmental and mitigation costs, recognizing that those  
19 are going to be an important factor in making decisions  
20 about transmission expansion. And to the extent that we  
21 have reliable data about what mitigation costs might be  
22 according to certain land areas, that gives us additional  
23 flexibility for optimizing corridors that might be  
24 recommended in a given study case.

25           One of the questions related to renewable energy

1 being available, I suspect that most people are aware of  
2 the publicly available data available through WREGIS,  
3 which is now run by WECC, so I won't go into a lot of  
4 detail on that. But let me pause at this point and see if  
5 there are any questions I can address about any of the  
6 topics that I've covered thus far.

7 MS. MILLIRON: Okay, I'm not getting any  
8 questions at this point, so I just want to thank Byron for  
9 joining us. We'll go ahead and swiftly move on so we get  
10 through everyone. Next up is Carl Zichella and he's also  
11 representing WECC, specifically the Environmental Data  
12 Task Force.

13 MR. ZICHELLA: Yes, and I work for the Natural  
14 Resources Defense Council, so I am a member, I'm the  
15 Chairman of the Environmental Data Task Force. I'm also  
16 an environmental stakeholder on the Transmission Expansion  
17 Planning and Policy Committee. I'll do my best not to  
18 duplicate what Byron said, but I wanted to give you, as  
19 was requested, sort of an environmental group's  
20 perspective on this work, its importance, what needs to  
21 continue.

22 First of all, thank you for inviting me. What a  
23 pleasure to be here at Janea's first meeting, Commissioner  
24 Scott, welcome. It's great to have you back, and thank  
25 you for the terrific service you gave to your country at

1 the Department of the Interior, I can't tell you how  
2 grateful we are and what a difference you made for  
3 California and for the rest of the country, so thank you  
4 very much for that. And what a great Board you're  
5 joining, very very pleased to see it, and thank you to  
6 Governor Brown for appointing you. So let me just get  
7 that out of the way to begin with --

8 COMMISSIONER MCALLISTER: I think that will do,  
9 Carl, thanks a lot, we really appreciate the -- [Laughter]

10 MR. ZICHELLA: Andrew and I are old friends, so I  
11 have to lay it on thick, I mean, she's new, you know.

12 I wanted to just basically say, you know, one of  
13 the reasons that this is so important, these data and  
14 getting them correct, and the application of them, is that  
15 the early use of this environmental and cultural data, as  
16 Byron mentioned, using geospatial information helps you  
17 prioritize decisions you're making about renewable energy  
18 investments and transmission. We need to think about  
19 those things together, not separately. They're too siloed  
20 and compartmentalized. Good planning means you pick the  
21 good resource areas with the low environmental conflicts,  
22 and you can then rationalize transmission investments to  
23 serve them, to reward people for locating there. If you  
24 want to get people to go to these areas, they have to have  
25 transmission planned for them, and not just for a limited

1 scale. The Tehachapi example, I think, is a great example  
2 of this kind of planning, building for the future, scaling  
3 a transmission to meet not just the needs of that moment,  
4 but future needs. And it's been very successful in doing  
5 that and getting a lot of wind into our system very  
6 quickly.

7           From NRDC's perspective, the main goals of doing  
8 this is of course to reduce CO<sub>2</sub> emissions; we're  
9 confronted with climate change and to reduce the cost of  
10 renewable generation and integration, and increase  
11 reliability while decreasing the footprint of the  
12 infrastructure, we need to accomplish that goal, and I  
13 think Paul spoke to public concerns about that quite well.

14           We also want to increase the speed of getting  
15 these resources into the system and that includes closing  
16 the gap, which we'll talk about this afternoon for  
17 generation in transmission, so those are sort of our  
18 operating goals on this and the carbon reduction goal, as  
19 we've often looked at it, is the IPCC goal of 80 percent  
20 reduction in CO<sub>2</sub> emissions by the middle of the century.  
21 California is doing a wonderful leadership job. I think  
22 maybe our efforts, despite the enhanced coordination we've  
23 been hearing about today, is still a little too  
24 balkanized, frankly, but I think we've made great strides  
25 to improve the way we approach this and I commend

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 everybody for the work that's gone into that.

2           With regard to the questions, in terms of types  
3 of environmental use data that would be useful, the  
4 Environmental Data Task Force work that Byron just  
5 described, I think, for out-of-state resources in  
6 particular -- and also includes California, by the way --  
7 particularly helpful there. The Risk Classifications and  
8 the approach should look pretty familiar, it's very  
9 similar to what we did in RETI, and very similar to what's  
10 being done in the DRECP.

11           I think we also have the chance to utilize new  
12 information that's coming forward. One of the big  
13 problems as we learned in the DRECP with regard to the  
14 wildlife data is they're not very consistent, not very  
15 helpful, we had to go a lot deeper on that. And one of  
16 the things we've learned regionally is that states don't  
17 always treat the same resources the same way at the  
18 borders of their states, so trying to get some conformity  
19 in how wildlife species are managed and what the  
20 requirements are in habitat treatments, things like sage  
21 grass which occur in California, but also occur in a  
22 number of other states in the west, how we're going to  
23 deal with the habitat needs of these species. And there's  
24 an effort underway at the Western Governors Association  
25 called Crucial Habitat Assessment Tool, which is being

1 done for each of the Western States, which will be done to  
2 help bring into conformance some of the assumptions that  
3 are being made about wildlife and habitat needs across the  
4 region. So there are some data there that would be very  
5 useful, I think, to the Energy Commission and to  
6 California decision makers as we look at generation that  
7 is not just in-state, but is originating elsewhere.

8 I think the big gaps so far that I've heard this  
9 morning has been in the treatment of cultural resources.  
10 I will just remind folks that during RETI we did look at  
11 cultural resources when we did the environmental rankings  
12 of transmission lines, Roger will remember this, we worked  
13 with BLM and Native American Tribes. It's very touchy,  
14 the data are not consistent across the West, and even in-  
15 state, what we had was the ability -- the need, rather --  
16 to keep some of this information confidential, you don't  
17 want to make individual locations public, you don't want  
18 people going in there and looting them, so just as you  
19 don't want to reveal the last unknown occurrence of an  
20 endangered species, you don't want to reveal particularly  
21 rich cultural sites too explicitly, so we had to adjust  
22 for that. We're struggling with that now at WECC and  
23 trying to do that across the West, working again with BLM  
24 and the Historic Preservation offices, it's not ready yet,  
25 it will be ready, as Byron mentioned, and so I just want

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 to call it out right now as something to be alert to and  
2 aware of as an approach that could be really value added  
3 for addressing cultural resource issues, especially in the  
4 Mojave where we've run into situations where hundreds of  
5 millions of dollars in loan guarantees have been put at  
6 risk because of conflicts with cultural resources. Very  
7 important.

8           Other information for out-of-state projects  
9 that's out there, there is State level information that's  
10 been coming together as a result of the chat process that  
11 I mentioned earlier, there are data coming in from the  
12 Environmental Impact Statements, some of the generation  
13 projects such as Chokecherry and Sierra Madre -- I see  
14 David Smith from TransWest and those projects is in the  
15 room, he may want to comment later -- but those data will  
16 really be helpful in people being able to judge these  
17 projects on a somewhat level playing field to projects  
18 that we're looking at in-state. And a lot of this data is  
19 publicly available; that, I think, is a useful thing, in  
20 fact, WECC is going out of its way to really make this a  
21 user-friendly process, as much as you can when you're  
22 dealing with such complex information, to have a data  
23 reader available, I think, will be a very helpful and  
24 useful tool that the State can access, it won't look that  
25 different than the kind of reader that was demonstrated



1 earlier by Roger using Google Earth, I think.

2           One of the issues we've come into difficulty with  
3 at some of the private sources of information are not at  
4 the same resolution and scale that many of the states or  
5 the Federal Government utilized. So we've had to adjust  
6 the sizes of polygons and adjust some of the data to bring  
7 them into conformance. It's a minor thing to people who  
8 are really good at this, but it's something that you've  
9 got to be really aware of. We've been using NatureServe  
10 Wildlife Data while we're waiting for the states to  
11 complete the crucial habitat assessment tool information  
12 and we are integrating those data into our database as  
13 they become available, but as you might imagine, this is a  
14 complicated effort, it involves some negotiation between  
15 and amongst states, and it will be the best information  
16 that we can get, and that's the standard, I think, that we  
17 are really trying to uphold in the regional work here, and  
18 very similar to what we've committed to do here in  
19 California in constantly upgrading the information as it  
20 becomes available.

21           One of the things I wanted to mention, it's an  
22 environmental piece of data, but it's not a piece of data  
23 in the sense that it's geospatial, and that is -- it is  
24 and it isn't -- but what I'm referring to are the load  
25 profiles, generation shapes of the resources out-of-state.

1 One of the things I think we need to consider as we're  
2 talking about out-of-state resources and their value to  
3 California is the way that they can provide uncorrelated  
4 variability into the system and reduce the amount of  
5 reserves that are needed, enable us to get more out of our  
6 own renewable energy resources with less need for  
7 balancing resources, a lot of information has come forward  
8 on this recently, University of Wyoming has completed two  
9 important studies now, a correlation study with  
10 California, wind resources in Colorado, wind resources  
11 that just came out the past week, and we'll see others, as  
12 well. The National Renewable Energy Laboratory has  
13 released a major study called "Renewable Electricity  
14 Futures" that posits the value of geographic diversity --  
15 and I will add temporal diversity -- across the region's  
16 renewable energy resources. We can make decisions about  
17 how much of the desert we choose to develop if we're also  
18 using the value of these resources in terms of when  
19 they're operating, what the capacity factors they're  
20 offering are, and how they match our own resources. They  
21 can help us reduce our own footprint and actually help  
22 develop some of the better resource areas in North  
23 America, quite honestly.

24           If we get too hung up on 33 percent, we'll never  
25 do it. I think we are, as Governor Brown has said, that

1    should be a floor, not a ceiling, and I think we are  
2    proceeding within the environmental community, many of us,  
3    to look at ways to make our resources more diverse  
4    geographically, temporally, and on the landscape. That  
5    does require transmission, it does require the kind of  
6    analysis that we're building at WECC that Byron described,  
7    to try to do that as sensitively as possible. And very  
8    importantly, it mirrors California's priorities as  
9    expressed in the Garamendi Principles, but try to utilize  
10   the best and the existing infrastructure to the greatest  
11   extent possible before you build new rights of way, and  
12   then locate the new rights of way that you do need as  
13   sensitively as possible.

14           And I'm really glad to see in my position on  
15   TEPPC how much of the new transmission is utilizing  
16   existing rights of ways. I realize I'm probably over,  
17   there's a lot of information here, but one thing I wanted  
18   to say, the updating function that Byron described using  
19   an open season, in terms of what might be valuable within  
20   a database I would say a column on when the data were last  
21   updated would be a useful field, and having a regular  
22   function where people can submit new information. I think  
23   this is going to be critically important as we continue to  
24   see climate change impacts on the landscape. Here in  
25   California we are monitoring the changes, we have done

1 this through the PIER process and other important private  
2 entities, the Point Reyes Bird Observatory, for example,  
3 has been doing a lot of research on changing behavior in  
4 migratory animals. We've been seeing prey species  
5 hatching earlier, migratory species having to arrive  
6 sooner. It's changing a lot of things on the landscape  
7 that we're going to have to pay attention to. It's one of  
8 the things that is a genius of the DRECP is that it's  
9 considering large-scale conservation at the same time,  
10 simultaneously, with the large-scale renewable energy  
11 development, and we need to slow climate change. I think  
12 that's a trend that we're starting to see.

13           And finally, mitigation costs are not  
14 insignificant. This is maybe more for the PUC colleagues  
15 that are here. At WECC, we're looking at how we can  
16 estimate these mitigation costs and consider them as part  
17 of the capital costs, at least of transmission resources.  
18 I traded messages with Terry O'Brien, who used to work for  
19 the Energy Commission here as Licensing Director, and  
20 Terry has been doing work on estimating mitigation costs  
21 for generation projects, as well. These are not  
22 insignificant, the mitigation costs for the Sunrise Power  
23 Link were more per mile than it usually costs to build  
24 transmission outside of California, \$1.6 million a mile  
25 according to Sempra is what their mitigation tab was. A

1 lot of that depends on how you define mitigation, which is  
2 not a consistent thing, and that's been one of the biggest  
3 problems we've had is trying to decide what does everybody  
4 call them, where do they put them in their spreadsheets  
5 when they're calculating their capital costs? Is it just  
6 land acquisition, or is it the management of these areas,  
7 the endowments that are being created for these long  
8 linear projects, etc.? It's a difficult task, we're  
9 wrestling with it right now, but there are very  
10 significant costs associated with this as we've seen in  
11 both generation and transmission projects here in  
12 California. I'll stop there.

13           There's one last thing I will say is I've written  
14 a white paper that I will submit for the record for you  
15 all, it's part of an Energy Foundation project to identify  
16 policy objectives to meet the NREL 80 Percent Penetration  
17 Study by 2050, and it goes to many of the things I've  
18 talked about here in much greater detail, so I won't go  
19 into the detail now, but I'll let you all see that, it's a  
20 pre-publication draft right now, it will be part of like I  
21 think a seven or eight chapter paper that includes things  
22 like business models and Grid integration and other such  
23 issues, too.

24           MS. MILLIRON: Thank you. We have about 10  
25 minutes left on the panel, so we'll have to keep our last

1 two panelists, sorry we've kind of pushed you on the time  
2 a little bit, but there should be time for five minutes  
3 each, and then maybe we can cut into the public comments  
4 for a couple of minutes to wrap up any comments on --

5 COMMISSIONER MCALLISTER: Do we have any public  
6 comments that have been submitted already?

7 MS. MILLIRON: I know of one. So maybe we have  
8 some flexibility there.

9 COMMISSIONER MCALLISTER: Okay, so we need to do  
10 the public comment as close to 12:15 as we can just to  
11 make sure that we respect the timeframe that they're  
12 calling in for.

13 MS. MILLIRON: Thank you. So Erica Brand, the  
14 Nature Conservancy.

15 MS. BRAND: Good morning. Thank you for having  
16 me here. My name is Erica Brand and I'm Project Director  
17 of the California Renewable Energy Initiative at the  
18 Nature Conservancy. At the Nature Conservancy we believe  
19 there's a tremendous opportunity right now. The State has  
20 invested significantly in the land use planning and  
21 collection of regional environmental data and, similarly,  
22 renewable energy developers invest in collecting site-  
23 specific and regional data. This information collectively  
24 provides a wealth of knowledge that can inform decisions  
25 and assumptions for energy planning.

1           I'll start with some feedback on the Renewable  
2 Energy Project Database. Our comments on the data that  
3 the CEC should collect are based on our experience in  
4 applying scientific analyses and landscape-scale planning  
5 to represent using geographic information systems, how to  
6 meet multiple goals including conservation and energy  
7 development on the ground. We work in all 50 states, so  
8 we have geographic information available throughout the  
9 west.

10           Based on our experience, we have several  
11 recommendations. I'll cover some examples, but the rest  
12 will be submitted in comments after the workshop. So I'm  
13 glad to hear from Roger that there is a connection between  
14 the geospatial information on the projects in the  
15 database. Data that is linked to geospatial context is  
16 most valuable for informing a broad suite of decisions and  
17 connecting various planning efforts.

18           We strongly recommend that the project  
19 information continue to be applied to geospatial  
20 information, which will allow the CEC to have a geospatial  
21 interface to its database and allow data to be used by a  
22 broad spectrum of decision makers and stakeholders.  
23 However, to accomplish this, the Commission needs accurate  
24 coordinates or shape files from proposed and existing  
25 projects and a process to check the quality of those data.

1           Of what the CEC already collects, the information  
2   that we most frequently use includes project size,  
3   capacity and the acreage, both technology and permitting  
4   status, and the CEC staff should continue to collect and  
5   share this information. I think it would be very valuable  
6   if there was a centralized database. It would be helpful  
7   to know PPA status, transmission interconnection status,  
8   and project commercial operation date consistently across  
9   the state. As a stakeholder, there are many databases out  
10  there that we go to in order to find information about  
11  projects and trying to make sure that there's consistency  
12  across them can be a challenge. So I like the comments on  
13  a common project number and having this database be  
14  accessible to all stakeholders.

15           We think the environmental permit field should  
16  track the status of all wildlife permits, the permit is a  
17  critical path to project development, and if not obtained  
18  represent a fatal flaw. And then I concur with what Paul  
19  bright up, we think there should be fields to capture  
20  water source and use related to a project. This data is  
21  important to assessing impacts from groundwater use and  
22  assessing greenhouse gas reduction. For example, if the  
23  water is trekked in for a large distance. And I also  
24  think a centralized database will be helpful to tracking  
25  and assessing cumulative impacts of projects.



1           So now I'm going to transition into the CPUC  
2 scenario planning, but I want to continue with the idea of  
3 using spatial data in the decision support tools for  
4 energy planning.

5           So over the last five years, significant  
6 investment has gone into land use planning and renewable  
7 energy planning; both the BLM Solar PEIS and the  
8 collective progress we've made on DRECP are both examples.  
9 I think an important next step is figuring out how we  
10 maximize the benefits of these investments and reflect  
11 these integrated planning efforts appropriately and with  
12 the right weighting systems into renewable energy planning  
13 processes statewide.

14           So we believe that all of the renewable energy  
15 and infrastructure planning processes at the CEC, CPUC,  
16 and CAISO should include the best available information,  
17 which includes environmental data in the decision making.  
18 There's a few reasons why this is valuable, and I'll touch  
19 on them quickly, the first is to leverage and incentivize  
20 the areas that energy and conservation planning have  
21 identified as renewable energy zones. As we've heard, one  
22 of the strongest incentives for development in zones is  
23 investment and transmission infrastructure to these  
24 locations, so connecting these planning efforts are really  
25 important to delivering results. The second is to make

1 the most accurate assumptions possible given the current  
2 state of knowledge and these assumptions impact planning  
3 decisions. And the third is that this information can  
4 provide agencies with early disclosure about potential  
5 risks, both high and low, that may impact viability of  
6 projects or portfolios. So we've already seen the  
7 Commission is taking a step towards integrating land use  
8 planning and energy planning by putting the DRECP into the  
9 CPUC scenarios, and we strongly support this decision.  
10 However, the question has been raised outside of the  
11 DRECP, what are some possible data sources that could be  
12 used, and so I'll speak to that now.

13           The data that I'm going to cover now are just  
14 some high level examples, and we'll put the rest into our  
15 comments. And the objectives for incorporating this data  
16 are to reflect areas where renewable energy development is  
17 precluded by law or policy, or areas where environmental  
18 constraints may impact portfolio viability. So, some of  
19 the categories are lands with a conservation status, so  
20 lands with conservation easements or other protections. I  
21 can think of the CESA mitigation falling in this category  
22 that Bill brought up earlier. Regulated resource  
23 locations, so areas such as designated critical habitat  
24 units, core recovery areas, and HCP and CCP reserve  
25 designs, both in-state and out-of-state. And then also

1 areas with indicators of high project risk, their existing  
2 peer reviewed scientific analyses that can be used to  
3 identify areas that present a high risk to renewable  
4 energy development based on unique or exceptional  
5 ecological values at certain locations. While these data  
6 may not preclude development, they may indicate where  
7 projects will be delayed, may face a higher fail rate, or  
8 may require significantly more agency staff time to  
9 address permitting concerns. So these types of data can  
10 be obtained by working with Federal and State agencies,  
11 local governments, nonprofit conservation organizations,  
12 and universities.

13           And so my concluding thoughts are related to  
14 process improvement -- I'm kind of a process junkie, so  
15 I'm really excited about the work that's being done. The  
16 methodology for the DRECP score, we have some reservations  
17 about a 50 out of 100 score to projects outside of the  
18 DRECP and outside of California, so we'd be interested in  
19 discussing in a stakeholder forum how we might incorporate  
20 other environmental data that's available outside of this  
21 region in order to score the projects.

22           And from there, the DRECP score, we're also  
23 interested in discussing how this is integrated into CPUC  
24 scenario planning. As I understand now, it seems like the  
25 base case is typically a commercial interest portfolio

1 being chosen, and DRECP fits into the environmental score  
2 which is about a 10 percent weight that we saw, if I  
3 understand correctly; and I think we need to look at DRECP  
4 a little bit differently, it's an area where we have both  
5 the energy agencies in the state and the trash resource  
6 agencies coming together in preferred areas for  
7 development, which will lead to high potential for low  
8 risk permitting in those areas. And so I think if we're  
9 trying to look for portfolios that represent the most  
10 likely path of renewable energy development in the future,  
11 a commercial interest portfolio that has a DRECP score  
12 with a higher weight might be a better interpretation of a  
13 successful path forward for development, so interested in  
14 participating in that stakeholder process and glad that  
15 that's being discussed.

16 And to close quickly, thank you for hosting  
17 today's workshop. We're really encouraged by the  
18 coordination between the CEC, CPUC and CAISO on addressing  
19 not only environmental data, but how it's integrated into  
20 energy planning. Thanks.

21 MS. MILLIRON: Thank you.

22 COMMISSIONER MCALLISTER: Thank you very much,  
23 Ms. Brand. Should we stop and see if there's anybody on  
24 the WebEx that has -- no questions over there? Okay,  
25 great. And then we have how many public comments? One or

1 two? Three, okay. So all of those are in the room. If  
2 they're okay with letting our final speaker go, and then  
3 getting to public comment, that would be great just to  
4 have the continuity. Is that all right? Great, let's do  
5 it that way. Thank you very much.

6 MS. ROBIN: Thank you very much. Can you hear  
7 me? Hello. My name is Renee Robin and I'm the Director  
8 of Permitting and the Counsel for Regulatory Affairs at  
9 SunPower Corporation. I've been practicing land use,  
10 environmental law, and renewable energy law for about 28  
11 years now. I started specializing in renewable energy  
12 about 10 years ago and SunPower, as many of you know, is a  
13 vertically integrated company, we manufacture our own  
14 cells, our own panels, we develop our own projects, we do  
15 residential, commercial, rooftop projects, as well as  
16 ground mounted projects, and we do large-scale utility  
17 solar globally.

18 I've been involved in the active permitting of  
19 about 3,000 megawatts of solar in the last four years,  
20 about 1,500 of those are approved and either developed,  
21 constructed, or under construction here in California now,  
22 and it's been a pretty amazing journey. I would like to  
23 just really say I appreciate the privilege of being the  
24 one industry person speaking this morning, and I hope I  
25 can do a service to my other colleagues in the renewable

1 energy industry in just letting you know some of the  
2 things that we're experiencing in working with the  
3 databases and in how we're participating in this process.

4 And everything that Carl said with respect to  
5 Janea, I would also ditto. Commissioner, welcome.

6 I think that we take very seriously the concept  
7 of "Smart from the Start," we don't always do it  
8 perfectly, but when we begin that process, there are three  
9 main things that we look at, and none of them have to do  
10 with environmental factors as far as species protection  
11 and so on. What we look at is: what is the solar  
12 insulation as a good place for us to generate power? How  
13 close is it to transmission with capacity? This is a  
14 primary number two factor for us. And the third is, is  
15 there an offtaker for this power? And unless we can  
16 answer those three questions, then we get to "Smart from  
17 the Start" in terms of our siting. And when we look at  
18 siting, from SunPower's perspective, we take very  
19 seriously our mission statement, and I know many people  
20 think it's very cliché, but we want to change the way the  
21 world is powered, and we want to do it as sustainably as  
22 possible. So we start off by looking for disturbed sites  
23 that ideally do not have biological constraints or  
24 cultural constraints, if possible. That's a dream  
25 statement, it doesn't exist, but we try. And how we go

1 about assessing that is by using the materials that we've  
2 been talking about this morning. The first place is we go  
3 is CNDDDB, we rely on the California Department of Fish and  
4 Game and the U.S. Fish and Wildlife Service so heavily,  
5 and we are so appreciative of the information that they  
6 have to share with us, it's essential for us. We do not  
7 want to build projects that are not in harmony with the  
8 environment that they're in. We look at it from our  
9 technology side: can we make sure that we're generating  
10 power that doesn't have hazardous materials, and doesn't  
11 use water, and all kinds of others things, but we also  
12 want to make sure that the way that we build it and where  
13 we build it is going to be making use of state-of-the-art  
14 geospatial information so that we can move forward as  
15 quickly as possible with as least cost as possible, and  
16 with as many partners as possible.

17 A lot of the information that we find very  
18 important is not -- it's coming together in ways that I  
19 think we all should be proud of in this DRECP process  
20 because part of the State-Federal partnership, the work  
21 with BLM and Department of Fish and Wildlife, but also  
22 that we've learned a lot about what we don't know. One of  
23 the things that I would say is that things like farmland  
24 mapping has become critical for the renewable energy  
25 industry in California. We need to make sure that we're

1 also not harming one constituency at the expense of  
2 another. And so this is something that I think that we're  
3 starting to learn very quickly when we did the DRECP  
4 mapping and we started looking at the different layers of  
5 different -- and I would call them constraints or  
6 interests -- and was very disturbed at the first meeting  
7 when they put up all the layers and said "these are the  
8 different conflict layers" because they aren't necessarily  
9 in conflict, and we have to balance them and weigh them.  
10 But what we didn't have was the same level of specificity  
11 for, for example, what is prime farmland, or what is under  
12 a Williamson Act contract, or what is part of a certain  
13 California economic priority and policy for farmland  
14 preservation with species preservation and avoidance, that  
15 so many have been working on for several years prior, so  
16 we have very detailed layers and information about  
17 biological constraints, but we have other interests that  
18 are coming up that are very important to the State. So  
19 farmland is a big one that we're looking at.

20 Water supply, water quality, and jurisdictional  
21 waters, these kinds of information are not necessarily in  
22 the same place where the other biological information is,  
23 and sometimes those layers of information are not  
24 compatible from a mapping perspective, so I would really  
25 encourage us to try and put those things together because,



1 when we go in to try and get a permit for a project, we're  
2 being asked what is the groundwater basin like that you're  
3 in, how much water are you going to use, where is it going  
4 to come from, is it going to affect adjacent property  
5 owners, all of those kinds of things. So water  
6 information is something that we haven't touched on as  
7 much in our mapping, but I think it's really important,  
8 especially if you're moving out of the California desert.  
9 And I think that's the other thing that I would say, is  
10 that the DRECP process is looking at this 25 million acres  
11 from Kern County to the California Border, and we have  
12 these DFAs that are now identified, but I guess the  
13 question that's being posed to me and I'm responding is,  
14 "Is this where industry is going to site solar going  
15 forward?" And the answer is not really. I'm looking at  
16 where those zones are and I'm looking at where our company  
17 is focusing our efforts and where others are, and those  
18 are either areas that have already been utilized and are  
19 under application, or there is not transmission to those  
20 locations at this time, and it's not clear how long it  
21 will take to get transmission with capacity to those  
22 locations. So we don't want to call them zones to  
23 nowhere, we want them to be zones to somewhere, and we  
24 want to try and help make that happen. I think that we  
25 learned how serious this problem was in the tail months of

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 the PEIS process and as we moved into the DRECP, and we're  
2 getting to the point now where we're ready to try and  
3 solve that problem and, lo and behold, we're in a plateau  
4 when it comes to the renewable energy industry and the  
5 current procurement situation for the state. If we are at  
6 33 percent and we don't know what's going to happen except  
7 for adjustments of fall-out, what does this mean about --  
8 even if there was available capacity, is there an  
9 available offtaker? Do we have a procurement policy that  
10 can help move this forward, those who have invested all  
11 this time and money into deciding where we would like to  
12 see these projects occur? How do we make this possible?  
13 So I guess one of the things I would say is that we need  
14 to think outside the box about timing of transmission and  
15 who is building it and how we're funding it, and that's a  
16 much bigger question than what we're here for this  
17 morning, but I would say as we look at our data layers and  
18 where we want to put solar in California beyond 33  
19 percent, we need to match it up very quickly where the  
20 next capacity is going to be, or there simply won't be  
21 economically feasible industry to make it happen. Let me  
22 just quickly look at my notes here and see if there's  
23 anything I haven't yet touched on.

24 I guess with the other mapping things that we've  
25 learned in the DRECP, the issue of slope and insulation

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that was addressed in the Federal PEIS was not something  
2 we could correct at the last minute, but we hoped that in  
3 the DRECP, we will not have the same kinds of constraints  
4 because photovoltaic solar does not have the same  
5 insulation and siding limitations that solar thermal does,  
6 and we want to make sure that the DFAs accommodate for the  
7 flexibility of PV.

8           The second thing I would say is that 84 percent  
9 of the DFAs in the DRECP is on private land, and that's  
10 not to minimize how important it is, or what's happening  
11 with BLM in our public lands, those may be the ones that  
12 go forward first, but with 84 percent on private lands,  
13 that means that the jurisdiction is in our counties and  
14 that we need to really look at what's in County General  
15 Plans, what's in zonings, what's in parcelization. And  
16 that's going to be really essential information if we're  
17 going to make the DFAs work in the DRECP. I'll stop there  
18 and hopefully I can answer any questions. Thanks.

19           MS. KOROSSEC: All right, if there are no  
20 questions for the panelists, we will move on to public  
21 comment. I have three cards, but other people can speak,  
22 you don't have to put in a card. First is David Smith,  
23 Power Company of Wyoming.

24           MR. SMITH: Thank you. Thank you, Commissioners  
25 and everyone else. My name is David Smith, representing

1 Power Company of Wyoming. I appreciate today's two  
2 workshops where we're talking about generation in the  
3 morning and transmission in the afternoon. And I'll limit  
4 my comments to the question about environmental data for  
5 planning.

6 I think one of the major questions that should be  
7 considered is at what point is different environmental  
8 data important in the planning process. I saw on the CPUC  
9 that they looked at both permitting and environmental  
10 data. I think that, as one develops a project, that once  
11 one has got the permits, it has kind of gone through the  
12 evaluation of the environmental piece to the point that  
13 you could say that it's de-risked from an environmental or  
14 permitting standpoint.

15 I think that in the CPUC, the planning that  
16 they're looking at, it was permit and environmental. When  
17 you look at the permits, it's whether an application was  
18 filed or not, and that's not really the same as whether a  
19 permit has been granted or not. In the case -- my  
20 colleague just spoke about the business model applied  
21 about taking a look at the right spot and everything else,  
22 and de-risking the project commercially through a PPA; I  
23 did want to let the Commission know that there's other  
24 business models out there where risk is being taken in  
25 development, in obtaining permits for projects, and that

1 the focus on a PPA or de-risking the project commercially  
2 is not always the model being used. When we take a look  
3 at the CPUC model that they're using, they're looking at a  
4 10 percent piece for the information, or a weighting  
5 factor for environmental and for permitting -- and for  
6 cost. And they're putting all the weight into the  
7 commercial interest, whether the project has been de-  
8 risked from a commercial standpoint. From our perspective  
9 with our business model, where we're de-risking the  
10 projects, we already have a record of decision now for a  
11 3,000-megawatt wind farm in Wyoming, there's other wind  
12 farms being developed in Wyoming, it's easy to get that  
13 environmental data, those are permitted projects. The BLM  
14 has websites about what projects have been permitted, I  
15 think there's been 10,000 megawatts of projects permitted  
16 under Secretary Salazar's watch, and 3,000 megawatts of  
17 those are in Wyoming at this point. So I think getting  
18 environmental data to fit into the transmission planning  
19 process can be easy if the projects have been going  
20 through the permitting process itself.

21           We've talked about transparency in the process.  
22 I think that in the CPUC process, again, cost is not a big  
23 factor, environmental is not a big factor, and those come  
24 up with different scenarios that then get handed over to  
25 the CAISO and they take a look at a least common

1 denominator. If it's in these three different scenarios,  
2 we'll go ahead and plan for transmission for that. I  
3 think that's kind of a little bit short-sighted in looking  
4 at where should we be building transmission to  
5 environmentally low cost, high grade places. So I'll  
6 leave comments for transmission planning until this  
7 afternoon. Thank you for providing me the opportunity to  
8 provide the comments.

9 MS. KOROSSEC: All right, next we have Rachel Gold  
10 from the Large Scale Solar Association.

11 MS. GOLD: Hi, Rachel Gold for the Large Scale  
12 Solar Association. Thanks for the opportunity to comment  
13 this morning -- or afternoon now. I just had a couple of  
14 questions after the presentations this morning and the  
15 roundtable discussion, which I very much appreciated. I  
16 think the question of accurate data is a very important  
17 one and starting to think about how we take another look  
18 at what we're currently using and, in particular, the RPS  
19 Calculator and its current limitations leaves me with some  
20 questions this morning.

21 I was hoping to hear a little bit more about the  
22 perspective from the PUC about what the current data  
23 limitations are, and some of the other challenges that I  
24 know we have discussed previously with the Calculator and  
25 how you're planning to address them. But I'm left with a

1 particular question about how you plan to determine  
2 whether a new environmental screening process is needed  
3 and on what basis that determination will be made, and I  
4 do look forward to a public process on that, but I feel  
5 like that's a really important thing to think about and to  
6 be vetted.

7           And then I'd love to have a more specific  
8 response to what are plans to update other parts of the  
9 Calculator, or to create a new calculator, it's gotten so  
10 complex that I think it's very difficult for stakeholders  
11 to kind of parse out what the moving pieces are and what  
12 makes an impact in the outcome. And I would echo the  
13 comments on updating costs, I think we mentioned this  
14 before and I think that's an important step to take.

15           And then I have another question regarding the  
16 scoring of the DRECP projects and I'm really curious to  
17 know why projects outside the DRECP seem to have received  
18 lower scores. I think it's a problematic scoring  
19 mechanism, that just because we have more data about the  
20 DRECP to give those projects lower scores outside of that,  
21 and so I have some other concerns about how that scoring  
22 was developed and we've mentioned those in our comments on  
23 the GPP (ph) process and look forward to working more on  
24 those items. And I'll stop there and we'll be submitting  
25 written comments. Look forward to your feedback. Thank

1 you.

2 COMMISSIONER MCALLISTER: Thank you very much.

3 And also to the previous speaker, I would say, you know,  
4 it would be great to see written comments where it  
5 warrants digging into a little bit more depth. So thanks  
6 for that.

7 MS. KOROSK: All right, the last speaker is  
8 Chris Ellison from Pathfinder Zephyr.

9 MR. ELLISON: Good morning. I'm speaking this  
10 morning on behalf of the Pathfinder 3,000 megawatt Wyoming  
11 Wind Project, which is a different wind project than the  
12 one that the previous speaker was speaking about, and the  
13 Zephyr Transmission Line, which is associated with it,  
14 that we bring that power to California specifically to the  
15 El Dorado Substation on the ISO system. I'm going to try  
16 to be extremely brief. We have comments this afternoon,  
17 as well.

18 First of all, I want to thank the Commission for  
19 holding this workshop, I think it's been extremely  
20 valuable. I think a lot of what has been said this  
21 morning are things that Pathfinder Zephyr would strongly  
22 endorse. In particular, I want to endorse what you heard  
23 from Carl Zichella. Almost everything that he said were  
24 things that we feel very strongly are correct for  
25 California.



1           And the Pathfinder project, in addition to being  
2 -- you know, it gives you an idea, the Mojave has been  
3 referred to as sort of the Saudi Arabia of solar, Wyoming  
4 is the Saudi Arabia of wind; the fact that you heard from  
5 two different 3,000 megawatt wind projects gives you some  
6 indication of that. But the diversity benefits that Mr.  
7 Zichella mentioned and the University of Wyoming Wind  
8 Study that he mentioned, in particular, that identifies  
9 \$100 million per year of potential integration cost  
10 savings to California, specifically to California, from  
11 developing Wyoming wind is certainly something that we  
12 endorse. The idea that the 33 percent is a floor and not  
13 a ceiling is certainly something that we endorse.

14           And lastly, the issue that's been mentioned by  
15 several speakers, including Rachel a moment ago, of  
16 getting the environmental benefits, or problems, of  
17 projects outside the DRECP recognized in some ways is  
18 certainly something that we endorse. The Pathfinder  
19 project includes a wildlife mitigation bank proposal to  
20 set aside more than 700,000 acres of land in Wyoming for  
21 sage grass and for other species protection, that's  
22 roughly the size of the State of Rhode Island. Getting  
23 that recognized in the California planning process is  
24 certainly something that we would like to see happen.  
25 Thank you very much.

1 MS. KOROSSEC: All right, anyone else in the room  
2 who wishes to make a comment?

3 MS. KELLY: Good afternoon. Kate Kelly with  
4 Defenders of Wildlife. First of all, thank you very much  
5 for holding the hearing today, we really appreciate it.  
6 Defenders has spent the last two years working on the  
7 Central Valley Renewable Energy Project and you've seen  
8 our "Smart from the Start" report. As part of that  
9 process, we have been tracking projects in the Central and  
10 Southern San Joaquin Valley for those two years and it's a  
11 handful, 150 projects with moving parts. And so we had a  
12 chance to sort of test drive different ways of tracking,  
13 and also doing the environmental screening internally.  
14 And we strongly support and would like to reiterate the  
15 comments made both by Erica with Nature Conservancy and  
16 Bill with California Department of Fish and Wildlife, they  
17 have some good insight as to some of the issues that are  
18 out there as things that we would really encourage you to  
19 further consider.

20 Mapping is essential and accurate mapping is even  
21 more essential, and we have seen a variety of, you know,  
22 drifts from where the project site is mapped versus where  
23 the actual application is for, so I would encourage making  
24 sure that the mapping is good and clean.

25 Bill's comments about tracking mitigation are

1   extraordinarily important.  It's sort of the second step  
2   in our societal contract with developing these projects,  
3   of running them through the process, but then making sure  
4   that they do happen the way that we think they're going to  
5   happen.  And it also is an opportunity to avoid missteps  
6   such as one we currently have with a large project located  
7   on an existing Kit fox mitigation easement.  There's a  
8   breakdown in the public trust there when something is  
9   sited on the land that's supposed to be protected for an  
10  endangered species.

11           It's really important to have sort of a  
12  centralized and collaborative review process, much as  
13  you've heard from several of the speakers, where the  
14  different agencies with their technical expertise are  
15  brought into the process very early.  It's not unlike what  
16  you see in other types of land use development where you  
17  have pre-application processes for very clearly  
18  identifying issues and tracking them early on so that they  
19  don't become a problem towards the end.

20           And finally, we would encourage to have some form  
21  of centralized clearinghouse for renewable energy, not  
22  just the siting of it, but also the environmental review  
23  process, and it may be something that would involve a mix  
24  between the Energy Commission, CPUC, California Department  
25  of Fish and Wildlife, Fish and Game -- or Fish and

1 Wildlife Service, and OPR as sort of the CEQA and land use  
2 clearinghouse, so that we have a central place where we  
3 all could go and get all those levels of information that  
4 we've talked about today, that each of us find to be very  
5 useful and important, so that we can do meaningful  
6 cumulative impact analysis as an example. We've got the  
7 data on the acreage and species and resources that are  
8 being protected -- or impacted. And with those comments,  
9 I'd be happy to answer any questions and we'll be also  
10 submitting written comments. Thank you for your time  
11 today.

12 COMMISSIONER MCALLISTER: Thank you very much. I  
13 think Commissioner Douglas has a comment and needs to run,  
14 so...

15 COMMISSIONER DOUGLAS: I just have a brief  
16 comment and I'm late to a 1:30 meeting. I think my blood  
17 sugar is a little too low to ask a lot of questions. I  
18 think, Renee, you'll probably be here after lunch and so  
19 this might be a chance for us to follow-up, but I was  
20 interested by your statement that the DFAs and the DRECP  
21 may not correspond to where projects are going. When I've  
22 looked at the maps, I actually see a high degree of  
23 correlation between the DFAs and projects, and I think  
24 we're going to get a presentation later today showing how  
25 the transmission build-out for 33 percent is supporting

1 the DFAs, or many of the DFAs. That doesn't mean there  
2 aren't issues and I think this afternoon will be really  
3 helpful for us to hear your thoughts on where the risk is,  
4 and what is the remaining gap, you know, why isn't it --  
5 what do we need to do therefore based on the starting  
6 point to ensure that the promise of really getting the  
7 needed transmission into those DFAs in a timely fashion  
8 and in the amount that's needed to realize their  
9 potential, you know, what that gap is because I really  
10 appreciate the expertise that you bring to the table for  
11 this discussion, to help us bridge that gap and hopefully  
12 walk out today with a strong sense of what we need to do.  
13 So I appreciate that. I am now going to run out of the  
14 room and I'll be back at 1:30 -- whenever Commissioner  
15 McAllister says we need to be back.

16 MS. KOROSEC: All right, we have no questions on  
17 WebEx, but we do need to open the phone lines just to give  
18 an opportunity for those for phone only.

19 COMMISSIONER MCALLISTER: Great, okay. Please  
20 do.

21 MS. KOROSEC: Go ahead and open the lines. All  
22 right, the phone lines are open. Does anyone have a  
23 comment? All right, hearing none, I think that we've  
24 taken care of the public comments.

25 COMMISSIONER MCALLISTER: Well, I want to thank

1 everybody for coming, really, and we understand what a  
2 sacrifice it is for you to take a chunk out of your day  
3 and come and be with us and to travel in many cases. I  
4 really enjoyed the roundtable, thank you all for being  
5 here, and so many different extremely valid voices around  
6 the table helping us not just get all this stuff on the  
7 record, but also really do it in person so you can begin  
8 to understand everybody's perspective and engagement on  
9 this. And I think that collaborative process is really  
10 important just in and of itself. So with that, we'll  
11 break until the afternoon session. Are we going to go for  
12 1:30, but it to 50 minutes?

13 MS. KOROSEC: It's noticed, so I think we do need  
14 to at least start at 1:30.

15 COMMISSIONER MCALLISTER: Okay, so we're going to  
16 start at 1:30. There are a few nice establishments not  
17 too far from here, nearby, so hopefully you can get lunch  
18 and be back by 1:30, so thanks very much.

19 (Thereupon, the Workshop was adjourned at  
20 12:41 p.m.)

21 --oOo--

22

23

24

25