

California Energy Commission DOCKETED 12-AAER-2
TN 2955 JUN 11 2013

STATE OF CALIFORNIA - THE RESOURCES AGENCY
 BEFORE THE
 CALIFORNIA ENERGY COMMISSION (CEC)

In the matter of,)
) Docket No. 12-AAER-2
)
 2012-13 Rulemaking on)
 Appliance Efficiency)
 Regulations)

**Staff Workshop on
 Responses to Invitation to Participate
 in the 2012-2013 Appliance Efficiency Rulemaking**

California Energy Commission
 Hearing Room B
 1516 9th Street
 Sacramento, California

Tuesday, May 28, 2013

1:02 P.M.

Reported by:
 Peter Petty

APPEARANCES

STAFF

John Nuffer, Project Manager
Tuan Ngo
Peter Strait
Harinder Singh

CONSULTANTS

Josh Butzbaugh, Trust for Conservation Innovation

Also Present (* Via WebEx)

IOUs

Yanda Zhang, TRC

Public Comment

Gary Fernstrom, PG&E
Chad Worth, Energy Solutions
Kevin Messner, AHAM
Luke Harms, Whirlpool
*Michael, SDG&E
Jeff Steuben, Energy Solutions
Scott Durfee, Nidec Motor Corp.

INDEX

	Page
Opening Remarks	4
Discussion on submitting Proposals - Tuan Ngo	
Staff Presentation: Residential Pool Pumps and Pool Pump Motors - Tuan Ngo	6
Discussion and Comments	15
Staff Presentation: Commercial Clothes Dryers - Tuan Ngo	21
Discussion and Comments	24
Break	
Staff Presentation: Portable Electric Spa Labeling Josh Butzbaugh	60
Discussion and Comments	65
Staff Presentation: Air Filter Labeling - Josh Butzbaugh	68
Discussion and Comments	73
Closing/Next Steps	76
Public Comment	76
Adjournment	77
Reporter's Certificate	78
Transcriber's Certificate	79

P R O C E E D I N G S

1
2 MAY 28, 2013

1:02 P.M.

3 MR. NUFFER: My name is John Nuffer. I'm the
4 Project Manager for the 2013 rulemaking. Thank you all
5 very much for coming. I appreciate you being here and
6 your participating.

7 A few housekeeping items, if you're not familiar
8 with the building, the rest rooms are out the door and
9 to the right, by the glass exit doors.

10 There's a snack bar up the stairs and across the
11 lobby.

12 In case of an emergency -- can you hear me?

13 Just in case of an emergency just follow us out
14 the nearest exit and we'll meet over at Roosevelt Park.

15 And as you can see, the workshop is being
16 recorded and there will be a transcript.

17 Let me give you a little background on this
18 rulemaking. Back in August of 2011 the Commission held
19 a scoping workshop to try to figure out which appliances
20 to include in this rulemaking.

21 In March of 2012 the Commission ordered the
22 rulemaking to begin. And then March of this year is
23 when we released the invitation to participate in the
24 rulemaking.

25 And at this point we're gathering information.

1 It's part of the pre-rulemaking. It's not the formal
2 rulemaking.

3 Today is the first in a series of four
4 workshops. Tomorrow will be consumer electronics,
5 Thursday lighting, and then Friday water appliances.

6 The next step, after we gather information from
7 all of these workshops, is to go out with a request for
8 proposals for efficiency measures for these appliances.

9 We want to try to get that out June 10th and
10 give you 45 days to put together proposals.

11 After that we've received those proposals we
12 want to hold another workshop or workshops to discuss
13 those proposals.

14 After we've done that then staff will sit down
15 and develop their own recommendations in what we call
16 the staff report.

17 And once those staff reports are complete we'll
18 hold workshops, again, to vet those staff reports and
19 staff's recommendation.

20 And finally, the formal rulemaking probably, we
21 expect may begin the latter part of this year or
22 beginning of 2014.

23 When you want to speak, please raise your hand
24 and Harinder or I will bring around a wireless mic.

25 Before you speak, please state your name and your

1 organization.

2 We are doing a WebEx, so we'll take comments
3 first, and questions and comments from those in the
4 room, and then we'll go to those on the phone and the
5 WebEx.

6 Today's workshop is going to be conducted by
7 Tuan Ngo and Josh Butzbaugh. Josh is the Senior Fellow
8 with the Energy Foundation, on loan to the Energy
9 Commission.

10 And Tuan is a PE with chemical and mechanical
11 engineering degrees.

12 So, Tuan, I'll turn it over to you.

13 MR. NGO: Good afternoon, my name is Tuan Ngo.
14 Thank you.

15 I have my glasses on and I can't see it. Are we
16 ready? Okay.

17 Again, good afternoon everybody, my name is Tuan
18 Ngo. I'm with the office -- Appliance Office and I
19 might be the person responsible today for pool pump
20 motors.

21 Before I go into the presentation, I'd like to
22 tell you a little bit about what I'm going to cover
23 today. First of all, what we're going to have to
24 discuss is what we've done so far, have a little, brief
25 discussion of the data and information that we receive

1 when we issue the information -- I'm sorry, invitation
2 for participation.

3 And then after that I have a little comment,
4 open forum from the people or organizations that submit
5 the comment to us.

6 And then, finally, we have a little bit of
7 discussion about the process, what the next steps.

8 And then the last thing I want to ask everybody
9 is because of timing constraints, so we'd like to ask
10 everybody to hold the questions until the end of the
11 presentation.

12 With that, I'd like to go ahead and begin. The
13 next slide, please.

14 First of all, what we've done so far, the
15 Commission held a public workshop on August 31st of 2011
16 to seek comments about the proposed scope of potential
17 new appliance efficiency standards.

18 Interested party gave technical presentation,
19 provide comments, and submit proposal for various
20 appliances.

21 On March 14, 2012 the Commission issue an order
22 instituting rulemaking, what we call the OIR, to
23 formally begin the process of considering standards,
24 then procedure, labor and requirement, and other
25 efficiency measure for the appliance.

1 Throughout the course of the proceeding our
2 material, including all the slides for presentation,
3 will be available on our website.

4 I encourage you all to go to our website and
5 join the list server for this proceeding.

6 The next slide, please. So far in the
7 invitation for participation, let me tell you ITT person
8 work, have a lot of work.

9 Anyway, what we requested is product definition
10 and scope. What we want to do is we want to find out
11 what products will be covered and how much, or how far
12 do we want to go.

13 Existing test procedure, we want to know the
14 test procedure right now and to see how good are these
15 product and whether we can make an improvement on future
16 procedure.

17 Source of test data, existing standard, and
18 standard development to make sure that we not interfere,
19 go into something conflict with other standard that are
20 in development.

21 And then we want to also know about the product
22 lifetime and duty cycle, product development training,
23 energy saving technology and features, and the cost.

24 Why we want all this? What I see here is that
25 cost-effective can be a different meaning for different

1 peoples. But what I'm interested here is from the start
2 so that the interested parties can understand why we are
3 asking some of the questions we ask and why we're
4 requiring some of the input we are.

5 That staff do require that the standard adopted
6 or revised shall not result in any added cost to the
7 consumer over the entire design life of appliances.

8 When determined the cost effectiveness, we will
9 consider the value of the water or energy savings, the
10 impact of the product, the efficacy of the product, the
11 acceptance of the consumer, and lifecycle cost to the
12 consumer for complying with the standard.

13 The Commission also consider all the relevant
14 factors, including, but not limited to, the impact on
15 housing costs, the total statewide cost, and benefit of
16 the standard over its lifetime, the economic impact on
17 Cali businesses, and alternative approaches, and the
18 associated cost.

19 The next slide, please. So far, when we have
20 received response from many interested party, the first
21 one -- all these are in alphabetically ordered, so it
22 doesn't mean that anybody more important than anybody
23 else.

24 Anyway, the first one received it from the
25 American Council for Energy Efficient Economy, short

1 name call it ACEEE.

2 Appliance Standard Awareness Project, short name
3 call it the ASAP.

4 California Investor-Owned Utility, short name
5 IOU.

6 Hayward Industry, Incorporated, HII.

7 Natural Resource Defense Council, NRDC.

8 National Grid.

9 And Northeast Energy Efficiency Partnership,
10 which is NEEP.

11 And then all these comment and data submitted we
12 already have it in our website and you can find it right
13 there.

14 The next slide, please. So, let's talk a little
15 bit about the response we received.

16 On the product definition and scope, what we see
17 here is that information or comment we received that we
18 should consider all pump motor that are less than 5
19 horsepower.

20 And then the existing procedure here, well, the
21 first, the one IEEE 114 and the HI 1.6, that one we
22 received from somebody, but I have problem finding that
23 test procedure anyway. So, I need to put a question
24 mark on those two.

25 And we also have existing Title 20 Section

1 1604(g)(3) on the existing test procedure for pump
2 motors.

3 The source of test data, we have the one from
4 existing, our existing database from the Energy Star,
5 the APSP databases.

6 Standard -- developing standard new and
7 existing. We have updated test methods. Actually, we
8 were recommended to update test method in Title 20, in
9 IEEE 114 2010 and HI 2011, and APSP.

10 Product lifetime and duty cycle, now, this one's
11 the one that I have all over the map. And some people
12 say the lifetime only five year, but we have data that
13 the pump motor's like over 25 years old.

14 So, like I say, this one here we still have a
15 question mark because the data was so scattered.

16 Product development training -- oh, the reason I
17 mentioned that because what happen is if we have this
18 product lifecycle not -- all over the map like this, it
19 will make our job a lot harder to determine what the
20 cost effectiveness will be because we need to assume
21 some number to calculate, again, that cost
22 effectiveness. But it's just something I look forward
23 to.

24 Product development trends and the -- what we
25 see is variable speeds with variable hydraulic

1 performance. And we didn't see anything on existing
2 pumps that are single speed. There were no trends on
3 anybody want to do anything with that.

4 But I know that a lot of people have pumps right
5 now, accordingly have one single-speed pump. So, if we
6 really want to do something, maybe we should look into
7 maybe we need to something, we need to investigate a
8 little bit more into the single-speed pump and what
9 could we do about it.

10 But, again, it's just my idea. We'll know for
11 sure by the time we receive the proposal and then we
12 have time to analyze it, and have further workshop and
13 we'll talk about it a lot more.

14 The energy-saving technology and feature,
15 variable speed with better hydraulic performance and --
16 next slide please.

17 Oh, thank you. And then on the cost we have --
18 we see -- we have response of costs that these pump run
19 from \$200 to \$1,400 depending on their size.

20 And I look into this cost and, yeah, it look
21 right. But I haven't seen anything -- a pump that are
22 less to \$200. I was thinking about changing my pool
23 pump.

24 Incremental cost, no response. And I can
25 understand about incremental cost, that we receive no

1 response right now because, really, we didn't have any
2 proposal.

3 Once we know what we propose or what we want to
4 do then maybe the cost of the incremental cost will
5 become clearer.

6 Market characteristic, we don't have any
7 response on that. And then whether we have -- whatever
8 we do we, we're affecting any small businesses, still,
9 we don't have any response on those.

10 So, we're still looking for if anybody have data
11 or comment on those things, please submit it.

12 What we really want to do is we really want to
13 be able to develop standards that are workable, and it
14 being for benefit of the consumer, so we need those data
15 to be able to do so.

16 And again, I provide the link -- I provide just
17 a little bit of the link on the slide just in case you
18 can look at all the data from our website.

19 The next slide, please. And so what's next?
20 Following the ITP workshop, the staff will request
21 proposals from you on updated efficiency standard and
22 measure.

23 And then what we are doing after we finish the
24 workshop today is we're going to -- we will put out a
25 notice for requesting proposal. And I will expecting

1 roughly sometime in June 10 is when we're going to issue
2 the request for proposal. That is -- that's the time
3 where agency or interested party can send in proposal to
4 say, okay, what equipment or how far do we want to
5 control, to develop standards for.

6 And then staff is working on the proposal
7 template and guidance to send out together with the
8 request for proposal. That way, when we receive the
9 proposal if we have a -- I mean, if we have the template
10 already it will make our job a little easier to review
11 it.

12 Proposal should be based on the information
13 received through the ITP. Again, this one really put
14 the -- a very important mark on the comment and data
15 that we should receive.

16 And then Commission staff will be available to
17 discuss question and concern any time during the
18 proceeding.

19 The next slide, please. So, what's next? What
20 we see here is that green arrow, that's where we are.
21 And then by June 10, what we see there is request
22 proposal from stakeholder. That will be the next step.

23 And then after that we will have to analyze the
24 proposal and then we go into the formal rulemaking
25 procedure.

1 With that, I'm -- again, my name here is on the
2 slides, and my number, my telephone number and my e-
3 mail, so if anybody want to contact me for whatever
4 reason, please do so.

5 With that, I'd like to end my presentation right
6 now. I want to ask any interested party, who want to
7 come up here and make maybe comment on your submittal
8 for a few minutes. Yeah, please.

9 MR. FERNSTROM: Hi, I'm Gary Fernstrom,
10 representing PG&E. Would you like me to step up to the
11 desk or is it okay just to --

12 MR. NGO: You can sit over there, too.

13 MR. FERNSTROM: I'd like to keep my comments
14 brief and only with respect to the response that we
15 provided to the invitation to participate.

16 But PG&E proposed the first pool pump standard
17 to the California Energy Commission in 2006. It
18 developed its voluntary efficiency rebate program for
19 pool pumps and motors back in 2001.

20 We're advocating, again this time, for
21 improvements. And I wanted to speak specifically to the
22 scope.

23 So, the scope of improvements we'd like to see
24 considered in this rulemaking would be one of looking at
25 pool pumps, the testing, listing and reporting

1 associated with them.

2 And by the way, I should mention that PG&E has
3 been working with the Association of Pool and Spa
4 Professionals for three years in preparation for being
5 on the same page with respect to this rulemaking.

6 So, one of the goals is to bring the California
7 more into alignment with the APSP Efficiency Standard,
8 APSP-15.

9 The second issue that we would hope would be
10 considered would be the efficiency of pool pump motors
11 and that would be moving from a prescriptive requirement
12 that prohibits cap start induction run and split phase
13 motors. And, conversely, through exception allows cap
14 start can run, allows permanent split capacitor and
15 other high-efficiency designs.

16 We'd like to move from that prescriptive
17 regulation to a performance motor efficiency based
18 regulation.

19 And I see a number of your questions are related
20 to that particular issue.

21 In the interim, between when the first
22 regulations were put into effect and now, variable speed
23 pumps have become much more prevalent in the market.
24 And we would like to see the language relating to pool
25 pump controllers updated so that it's more compatible

1 with the type of control needed for variable speed
2 motors.

3 There is considerable interest in light-emitting
4 diode underwater lights, yet there's data on their
5 performance lacking in the market.

6 So, from the stand point of understanding the
7 performance of those products better, we would like to
8 see a testing, a reporting and listing requirement
9 associated with those so that users and utilities can
10 understand the energy efficiency performance better.

11 And lastly, we've identified an opportunity with
12 swimming pool heaters, not with respect to their thermal
13 efficiency, these would be gas-fired residential
14 heaters, but with respect to their hydraulic
15 performance.

16 So, pools equipped with variable speed motors
17 can reduce their speed, pressure, and power and energy
18 requirements if the total dynamic head presented in the
19 pool system is reduced.

20 And we believe there's an opportunity in
21 reducing the head associated with these heaters and
22 thereby saving electrical pumping energy.

23 About 60 percent of the pools in Northern
24 California have gas-fired heaters associated with them
25 that are plumbed into the pool system all the time. I

1 believe because of the high price of gas, these pool
2 heaters are rarely used, so there's an opportunity
3 moving forward to lower the resistance to the flow of
4 water through those heaters, thereby saving electrical
5 pumping energy.

6 And lastly, I'd like to introduce my co-worker
7 on this topic, Chad Worth from Energy Solutions, and ask
8 if he has anything he'd like to add.

9 MR. WORTH: Yeah, thanks Gary, that was a
10 great --

11 THE REPORTER: Could you speak more directly
12 into the mic, please?

13 MR. WORTH: Yes. Yeah, thank you. Again, my
14 name's Chad Worth, with Energy Solutions, on behalf of
15 the California IOUs.

16 I guess I'd just like to reiterate, maybe, a
17 couple of points. That we, you know, think that there's
18 an opportunity to improve motor efficiency for both
19 single speed, dual speed, variable speed pool pump
20 motors under five total horsepower, regardless of either
21 OEM or replacement purposes, whether utilizing
22 residential or commercial applications, or whether for
23 filtration or other purposes, such as mountains and
24 things like that.

25 And we think these kind of standards would be

1 cost effective. That's all I have.

2 MR. NGO: Thank you. Is there any other party
3 that submit comment that want to comment on --

4 MR. FERNSTROM: One more comment. Is my
5 microphone working? Okay, now my microphone is working.

6 This is Gary Fernstrom, again, representing
7 PG&E. I'd just like to recognize the tremendous
8 advances made within the pool industry in improving
9 energy efficiency over the last decade.

10 Design practices have changed, significant new
11 equipment has been introduced which allows energy
12 efficiency. And I think the entire industry should be
13 recognized for this tremendous effort in improvement.

14 MR. NGO: So, you will cover those in the
15 proposal, I guess.

16 Okay, I have a little comment. I mean, I have a
17 question for you. When you say pump motor, you know
18 that we are preempted from the Fed; right?

19 MR. FERNSTROM: No, actually, we're not preempted
20 by Federal regulation. There is a Federal regulation
21 covering small motors, but it is limited to three-phase
22 motors. And the type of motor we're talking about here
23 are single-phase motors, under five horsepower, so
24 they're not preempted by the Federal government.
25 They're a dedicated purpose, single-phase, less than

1 five horsepower pool pump motors.

2 MR. NGO: Yeah, I guess we need to look into it
3 more, later.

4 Anybody else in the room want to have any
5 comment?

6 How about anybody in the Web?

7 MR. STRAIT: Hello? Just as an informational
8 item, if you desire to make a comment or have a question
9 during this proceeding, you can either send it to us
10 through chat and when we're able to answer it, we'll
11 read your question and provide an answer, or you can
12 click the raised hand button in your WebEx controls and
13 that will let us know to select you, unmute your line
14 and give you a chance to speak.

15 If anyone listening in online has any comments,
16 they can raise their hands now. Otherwise, we are going
17 to move on.

18 MR. NGO: That was easy. So, that's it, that's
19 it with the pool pump.

20 Again, I'm looking forward to receive -- I guess
21 I'm looking forward to the next step that is to receive
22 the proposal for standard consideration. And I hope by
23 that time we'll be a little more lively than now.
24 There's not a lot of people saying anything, yet.

25 So, should we go ahead and to the next one? Is

1 anybody -- well -- I am afraid that some people might
2 show up late for the --

3 (Off-record conversations)

4 MR. NGO: Okay, with that I'd like to go over to
5 the next item, which is Commercial Clothes Dryers.

6 I guess I don't have to reintroduce myself or go
7 into some of the boring stuff, so I'm going to go right
8 to the next slide, the next slide, the next, the next
9 one.

10 I'd like to go right to the response.
11 Everything I cover in the previous one and I don't see
12 anybody new coming in from before, so I'd like to cover
13 that from here on.

14 Again, we issue the IPT and we receive
15 responses. Again, we receive response from the American
16 Council for Energy Efficient Economy, ACEEE, Association
17 of Harm Appliance Manufacture, AHAM, Appliance Standards
18 Awareness Projects, ASAP, Alliance Laundry Systems, ALS,
19 California Investor-Owned Utilities, IOU, Natural
20 Resources Defense Council, NRDC, National Grid,
21 Northeast Energy Efficient Partnerships, NEEP, and
22 Whirlpool Corporation.

23 Again, all the documents, all the comment and
24 data that we received we -- I provide a link over here
25 so if you have any time, or you don't have anything

1 better to do, you can look at it.

2 The next slide, please. The response so far
3 that we've received -- well, first of all, we'll cover
4 the product definition and scope.

5 What we see here is that we see the trend for
6 most residential dryers -- I'm sorry, the product
7 definition and scope. We want the standard or the
8 equipment that we are looking at will be similar to
9 residential clothes dryers, but it's more rugged in
10 design and it has larger chassis dryers.

11 So, we do see that the product scope, existing
12 test procedure, right now we don't have any test
13 procedure for commercial dryers, but we do have the test
14 procedure for residential, right.

15 So, because of that we don't have any source of
16 test data. But one may have some -- I guess we may have
17 some data from IOU. Again, they're going to cover this
18 a little bit later.

19 And then the produce lifetime, and duty cycle,
20 and we are talking about 10 to 15 years, which still --
21 you know, I go to my son's apartment in the school, and
22 I see -- I look, kind of curious to see what the dryer
23 look like and they are pretty old, some of them, like 30
24 years old.

25 So, because of that, I mean in my mind I just

1 say maybe look into a little bit more carefully. That's
2 the reason why I put the question mark over in that
3 item.

4 Product development trend, nothing, no clear
5 trend. So, we're not going to worry about that.

6 The next slide, please. Energy feature, energy
7 saving feature, what we see people talk about so far,
8 based on the response that we receive is that the
9 automatic termination control, or ATC, and maybe perhaps
10 these are chained to the equipment.

11 Again, I put the question mark there because I
12 think we need to look more into this one just to make
13 sure what we're talking about.

14 And then the costs, again, this is a big one,
15 \$500 to \$4,000, depending on the size. So, we're okay
16 with the cost.

17 Incremental costs, what we see is that no
18 difference between the -- maybe the proposal and the
19 existing dryer. So, I put it a yes, but it's no
20 differences, so it's a good.

21 Market characteristic not clear.

22 Small business affected, not clear either. I
23 would assume that some of the individual apartments that
24 have the Laundromat -- actually, I assume not to use the
25 word Laundromat, it's like a corporation, really. They

1 have, you know, the coin-op. Those are maybe the
2 businesses that are affected, small business that are
3 affected. But, again, we need to look into it a little
4 bit more.

5 Again, the link to the document is provided here
6 in this slide.

7 What next is we will -- the next slide, please?
8 Well, next, we will follow on the workshop. We will
9 issue the request for proposal. Again, the date is June
10 10. And we are working on the template and guidance for
11 the proposal, and we will provide it at the time we
12 publish our request for proposal.

13 And we are ready -- I mean we are here, so in
14 case you have any questions or you want to talk with us,
15 that's fine.

16 My name and my telephone number will be on the
17 first and the last slide.

18 The next slide, please? I guess we already
19 cover this, so I don't need to cover it anymore.

20 I'd like to ask Yanda, from IOU, to -- he put in
21 some comment on the commercial clothes dryer. And then
22 I'm not sure, you want to provide any comment?

23 MR. ZHANG: Sure. My name's Yanda Zhang with
24 TRC and I'm on behalf of use of this specific topic.

25 And we start to conduct a case study on

1 commercial clothes dryers as early as in 2007. And we,
2 shortly after that, started to talk to manufacturers,
3 including AHAM and also laundry, clothes laundry
4 association, basically the users, the end-users of
5 commercial dryers to talk about this effort.

6 And so, the basic technical background is that,
7 as Tuan already say, we actually don't have any Federal
8 or California energy efficiency standards for this
9 appliance.

10 What we do have is for residential dryers, gas
11 and electric.

12 And so the first effort we worked with
13 manufacturers and AHAM is trying to test this standard.
14 What we believe is that this is going to be very useful
15 for everyone. One is especially for the users to know
16 what are the performance of those machines and utilities
17 could know the efficient models they can, for example,
18 establish programs to help promote efficient models.

19 And commercial dryers and residential dryers,
20 they're very, very similar in terms of designs and
21 controls in the cycle process. So, it's very natural
22 and I guess it's to -- for us to consider, take the
23 existing Federal test procedures and kind of adapt it,
24 and modify it and for commercial dryers.

25 And the only -- the difference we see between

1 the residential dryers and commercial dryers are size,
2 so the issue is basically how do we decide load size for
3 different commercial dryers. And that's what we're
4 seeing is probably the issue we can discover later more
5 down the road.

6 For supporting that, IOUs also supported lab
7 tests and for trying those test procedures for
8 commercial dryers.

9 We worked with manufacturers and some of them
10 generously donated machines to us, we actually used some
11 in the, you know, test study.

12 So, we will release those test results and along
13 with the proposal.

14 So, I guess, I mean at this stage we're not
15 proposing the detail measure -- we're not talking about
16 a detailed proposal, but I do like to maybe address,
17 Tuan, some of the questions you had here.

18 For example, the first one I remember is the
19 product live, useful live. You were seeing some that
20 goes 30 years.

21 One thing, we also noticed that even the
22 machine, itself, the natural life might be 10 to 15
23 years, but people tend to fix it, you know, once they
24 have problems. So, you could have machines they keep
25 for many, many years, that also kind of shows that to

1 get an efficient model to begin with is very important
2 for long-term energy savings.

3 In terms of for small business impact, we also
4 see is that if we can induce -- improved efficiencies
5 impact, I will say, is for small business especially
6 those -- lots of people are running the coin-operated
7 Laundromats, they definitely belong to small business.

8 Better efficiency reduce their electricity or
9 gas bills, that definitely, you know, affect their
10 bottom lines. I think that's definitely the thing for
11 small business.

12 In term of cost, we don't see price difference
13 between different models, efficient or less efficient.
14 And so having a standard promoting efficiency, it's not
15 going to have, really have, you know, a cost issue to
16 those businesses.

17 So, I think that's my summary and I'm open for
18 any other questions.

19 MR. NGO: Thank you, Yanda.

20 Is there anybody else who wants to make comment?
21 Please.

22 MR. MESSNER: Okay, thanks. This is Kevin
23 Messner, I'm with AHAM. I've got a couple of questions.

24 So, you didn't see a cost differential between
25 energy efficiency levels, just curious how you made that

1 determination? You went out and got a bunch of
2 commercial clothes dryers, tested them and saw
3 efficiency level A and B, and they cost the same?

4 MR. ZHANG: Not the same, we don't see any --

5 THE REPORTER: Can you use the microphones when
6 you talk.

7 MR. ZHANG: Yanda with TRC, again. So, already
8 mentioned, we did conduct a lab test study. What we
9 tested is a range of dryers for multi-family use and
10 also a range of what probably you call 30-pound
11 machines, one of the most popular machines out there.
12 And we'll not able to test all other product category
13 because of product resources.

14 So, we do have performance result and we also
15 collect cost data. And what we find is there's no
16 correlation between efficiency versus cost. It doesn't
17 mean -- basically, it means the more efficient models
18 does not cost more.

19 And since its other product features they take
20 in --

21 MR. MESSNER: Yeah, so how many residential
22 style dryers were a part of this test?

23 MR. ZHANG: We didn't test residential, we only
24 tested -- oh, so multi-family models you're talking
25 about, maybe --

1 MR. MESSNER: Yeah, the coin-operated,
2 residential style.

3 MR. ZHANG: Oh, residential style, okay.

4 MR. MESSNER: The coin-operated.

5 MR. ZHANG: Yes, probably multi-family, yes,
6 models.

7 MR. MESSNER: Yeah, the multi-family
8 Laundromats.

9 MR. ZHANG: I have to always come back after --
10 I could be wrong, either four, or five, or six.

11 MR. MESSNER: Right, okay.

12 MR. ZHANG: So, that number I can't --

13 MR. MESSNER: No, no, I understand. I'm just
14 trying to get a sense so --

15 MR. ZHANG: And the same number of 30-pound
16 dryers.

17 MR. MESSNER: Oh, four to six 30 --

18 MR. ZHANG: Gas dryers, yes.

19 MR. MESSNER: I got you, okay. So, when you
20 looked at the dryers you were looking at the -- were you
21 looking at taking it apart and finding -- how did you
22 get the cost? Did you talk to -- did you see them on
23 the internet or --

24 MR. ZHANG: You know, we kind of surveyed
25 distributors.

1 MR. MESSNER: Okay.

2 MS. ZHANG: That would be the kind of direct
3 user cost instead of -- it's different from the DUE's
4 kind of breaking down cost, we didn't use that approach.

5 MR. MESSNER: Okay, so then the efficiency
6 differences, what did you find the efficiency
7 differences were attributable to? Were there -- you
8 said the costs were more related to features so when you
9 saw an energy efficiency difference what did dryer A
10 have that dryer B didn't have?

11 MS. ZHANG: Yeah, one thing, what we think on
12 the technical side is, for example, for residential side
13 people talk about with automatic termination control and
14 without.

15 And commercial side one feedback we got is,
16 especially for coin-operated Laundromats that you
17 couldn't not use ATC, automatic termination control.

18 So, that's not a feature we actually looked
19 because even same machine could be used on premise
20 Laundromats but, you know, you couldn't universally
21 apply to all the models. So, that's not included
22 consideration, that's one thing.

23 So, I think most of the performance difference
24 will be contributed to the design of the machines
25 especially, for example -- and this is more from the

1 technical engineering analysis side, you know, more than
2 the detailed breaking analysis.

3 So, what we think is most of the difference is
4 caused by, for example, your design of your air flows,
5 your automization of drum rotations B versus the air
6 flow versus, for example, your heat input findings.
7 And, you know, this is basically automization and
8 basically your control sequence.

9 And when going to specifically narrow down
10 what's the, you know, improve what? Always it's a
11 combination. And what we kind of conclude is the
12 overall automization design effect.

13 MR. MESSNER: Right, okay, that's helpful, that
14 makes sense. Okay, so I mean it's good to hear that you
15 may have some perspective on auto termination. We saw a
16 lot on auto termination, it doesn't -- you can't apply
17 auto termination to commercial dryers, it's a time,
18 you're paying for time purchase and it just didn't work.

19 MS. ZHANG: Well, yes, but we did, we actually
20 did. I mean back in 2008 we did mention to
21 manufacturers that you know what it's not a bad idea. I
22 know it's not a common practice, but it's not a bad
23 idea. Even for coin-operated Laundromat you still
24 include, for example, automatic termination to use.

25 It's a concept -- for example, what people

1 paying is the service, right, so --

2 MR. MESSNER: Well, they're paying for time,
3 actually.

4 MS. ZHANG: Well, yes. They're paying, for
5 example 40 minutes drying time.

6 MR. MESSNER: Right.

7 MS. ZHANG: Because they think their load of
8 clothes will need drying 40 minutes, right.

9 MR. MESSNER: Right.

10 MS. ZHANG: Okay, so that's not was proposed,
11 but I'm just going to discuss with you, but what we did
12 propose to manufacturers is what you could do is still
13 implement automatic termination control and users, if
14 they pay 40 minutes, if their clothes is dry at 45,
15 theoretically you could stop the machine. Users would
16 be happy because you get the clothes faster, you don't
17 have to wait for five minutes. It does not cost you
18 actually more. And the operator's happy because save
19 gas. So, it's a win/win strategy for everyone.

20 What we're saying is that it's something you
21 could do and --

22 MR. MESSNER: Well, it doesn't cost -- let me
23 just push back a little bit on that. So, if they auto-
24 termination for commercial, so if you go -- in
25 California's own weights and measures, we have in our

1 comments, it talks about an example, and other states
2 have laws where they have dryers as you're paying for
3 time. So, if you put in -- put aside the laws and the
4 regulations of California's own example that this is a
5 time service, if somebody goes into a Laundromat and
6 you're paying for a certain amount of time --

7 MS. ZHANG: Yeah.

8 MR. MESSNER: --- then generally the mindset is
9 that people don't really want to hang out in the
10 Laundromat very long. So, when clothes are dry, they're
11 checking, and they're unloading, and they're getting
12 them out there.

13 MS. ZHANG: Yeah, yeah, yeah.

14 MR. MESSNER: So, there's not this concern that
15 there was -- when we went through this for the
16 residential clothes dryers, which we were okay with the
17 auto-termination on clothes dryers, so there's not any
18 opposition to the concept of auto-termination on the
19 residential side, and there's test procedure issues on
20 that side, and I'll get to that a little bit later.

21 But for the commercial side it's a completely
22 different issue where it's a time. And if you did an
23 auto-termination someone could then, oh, this is -- this
24 is guaranteeing me a service, this is guaranteeing me
25 that my clothes will be dry at the end of this. So, now

1 I'm going to take two loads of clothes washers, cram
2 them into one dryer, pick the auto-termination because I
3 know I'm guaranteed that this dryer's going to dry
4 whatever it's in because I've got auto-termination, so
5 I'm going to cram a bunch of things in. It reduces the
6 air flow and circulation.

7 MS. ZHANG: I'm not so sure of that.

8 MR. MESSNER: Well, if you went to a clothes
9 dryer and you saw two -- this is you, personally.

10 MS. ZHANG: Right, yeah.

11 MR. MESSNER: You see, okay, this one I put a
12 dollar in and I got 40 minutes. This one I put a dollar
13 in and I'm guaranteed that everything's going to be dry
14 when I'm done. Are you going to take two -- and you
15 want to save money.

16 MS. ZHANG: I think with people it's a learning
17 process. As we do today, you know, you go there it's a
18 40 -- do I put five coins in or ten coins and really
19 judge my load, right. I think people are not that silly
20 to say, oh, this is automatic termination control, I put
21 five coins in, whatever, it should be dry. I will --

22 MR. MESSNER: Well, you might want to check your
23 research when you do that because you can go to
24 Laundromats and people on clothes washers put as much as
25 they can possibly fit in the capacity of that, and turn

1 then on and say, good, I'm going to get them washed.

2 So, that's one -- that's a problem just with
3 consumer satisfaction and then you just have a perverse
4 incentive to have something on the dryer. So, with the
5 test procedure, they severely penalize time drying for
6 the DOE test procedure, so that's why you don't see many
7 time dryers, only, in the residential area because it's
8 a very big penalty on that DOE test procedure. You get
9 penalized for doing a time dry only feature.

10 So, the way the test procedure's developed, so
11 that's why generally you don't see any of those out
12 there.

13 Now, if you applied that same test procedure to
14 the commercial dryer, it would penalize the -- so it
15 does -- and I heard you said modify it so --

16 MS. ZHANG: Well, I think it's --

17 MR. NGO: Okay, Yanda, okay. I think all of
18 these things is we will have to save it for the time,
19 until the later time when we are talking about
20 standards.

21 We can sit here and we can talk about all of
22 these things without any proposal or any tests, we
23 wouldn't -- nobody going to win.

24 MR. MESSNER: Well, I thought -- no, wait, I
25 thought this was the purpose of this scoping is to see,

1 and our position is these should not be part of the
2 scoping.

3 And so your questions are, are there test
4 procedures?

5 MR. NGO: Uh-huh.

6 MR. MESSNER: Are there reasons to do this? And
7 so, all of these questions are --

8 MR. NGO: Oh, no, I understand. I understand.
9 That's why what we're doing -- what we're doing is when
10 we have -- when we have the request for proposal and the
11 proposal coming in, then we have to look at everything.

12 Right now I'm just talking about the data and
13 what the data say. And even the data say today it's
14 very incomplete, it's not much.

15 MR. MESSNER: Well, which part of the data --
16 well, for our position, our view is that there is no
17 test procedure. We've provided data on how many
18 shipments, there are a very low number of shipments in
19 this area.

20 There's the auto-termination doesn't make sense
21 for this product.

22 So, I guess my original, the first question
23 would be what does CEC see as potential benefits for
24 even looking at this product as a standard, and what are
25 the energy savings that could be attributable to this

1 given the numbers that -- unless CEC may not agree with
2 the numbers we've provided -- but just trying to get an
3 understanding of what CEC's focused on.

4 MR. NGO: We don't, we haven't having any focus
5 on anything.

6 Right now what we have is the data and then we
7 will have to focus -- that's a little time.

8 MR. MESSNER: Right.

9 MR. NGO: Because like I say, it just make it so
10 hard to talk about all these things when we don't know
11 what the target going to be.

12 MR. MESSNER: Right, that's why we're trying to
13 talk through it now --

14 MR. NGO: Right, right.

15 MR. MESSNER: -- so we don't -- then later in
16 the process we say, oh, well, we didn't know that.

17 MR. NGO: By the time we get to those, then we
18 will have a clearer picture, then we'll be able to argue
19 a little bit more.

20 MR. MESSNER: I'm trying to give you a clearer
21 picture now so then ---

22 MR. NGO: Yeah. Thank you, I appreciate that.

23 MR. MESSNER: -- we don't have to argue about it
24 later.

25 MR. NGO: Yeah, right, right.

1 MR. SINGH: Kevin, this is Harinder Singh. You
2 know, you mentioned about the other State laws related
3 to the coin-operated laundry. We'd like to get -- you
4 know, please submit the information to go in our record
5 so that we can, when we are evaluating the proposals,
6 and the data, and the information so we have all the
7 information that is necessary for us to do the
8 evaluations.

9 So, please submit whatever information you can
10 so that --

11 MR. MESSNER: Yeah, they're in our comment.

12 MR. SINGH: Yeah, in the comments and so we --

13 MR. MESSNER: Yeah.

14 MR. SINGH: -- we will consider all of that
15 information in the comments when we are looking into the
16 issue.

17 So, today the purpose of the workshop and also
18 the purpose of the ITP is to receive information and to
19 get the data via whatever, or all the information. But
20 since we didn't receive much information on this topic,
21 besides the IOU submitted some information.

22 So, we would like to get as much information as
23 possible so that either during the proposal or after the
24 proposal we have enough information to evaluate the
25 issue. So, thank you very much.

1 MR. MESSNER: No, that makes sense. And in the
2 comments I put this -- we cited the statutes of some
3 State laws we found. There's probably others out there.
4 We cited the California Weights and Measurement website
5 for the State that's about the time of use, and
6 everything. So, that's one of the reasons we're here.
7 Maybe we misunderstood the purpose to just what other,
8 you know, information. We answered as many questions as
9 we could that were out there and are just trying to
10 understand -- I mean it's good to understand what the
11 proposal is and other things, but having -- still kind
12 of struggling on what the value would be, or what other
13 areas you're looking at.

14 I mean we don't want to come back for the next
15 round of this and then have, oh, auto-termination we're
16 using, we did a test procedure. We're trying to provide
17 input now that that wouldn't be the correct avenue to
18 go, we don't think it is.

19 And if you guys think it does make sense, it
20 would be good to know why and we can go back and provide
21 some other information, and so we're just hoping to have
22 a dialogue

23 I'm just coming up with the ideas on where we
24 are and maybe you guys have a different thinking that we
25 haven't thought of, and we could certainly then go back

1 and provide additional information for you.

2 MR. STRAIT: Sure. And likewise, we appreciate
3 having the discussion and the information that you give
4 to us. For example, with this particular topic, we
5 could envision something where maybe the auto-
6 termination simple makes a little indicator like letting
7 the person using the machine know that their load could
8 be taken out right now, or they could leave it in.

9 We're not suggesting that the auto-termination
10 control necessarily override, you know, the time that
11 belonged to the coins.

12 That still -- all of that is a discussion we're
13 going to have once we're going to reach the point of
14 proposing possibly regulations.

15 At the scoping meeting what we're looking for is
16 should these be considered? Can you give us some data
17 that shows where there might be opportunities for these
18 to be considered and that's all we're at right now, and
19 that's why we don't have a position on any particular
20 feature or any particular requirement we may move to.

21 We're going to look at everything we get now and
22 then see if we can develop something out of it.

23 MR. MESSNER: All right. Okay, that's helpful.
24 So, then, all right, so we'll keep looking at it and try
25 to find out, I guess, the next step.

1 And I guess one last question is there are -- I
2 can't remember now, on the law, but are there minimum
3 thresholds of energy savings requirements or that CEC
4 has to achieve a certain energy savings to regulate or
5 not? Like the DOE has that minimum kilowatt hour
6 threshold that maybe CEC doesn't.

7 MR. NGO: We don't.

8 MR. MESSNER: So, you could -- is there any --

9 MR. NGO: We are looking at dollar per kilowatt
10 savings.

11 MR. MESSNER: Dollar per kilowatt savings, okay.

12 MR. NGO: Yeah, pretty much that.

13 MR. MESSNER: Yeah.

14 MR. NGO: But we do not have any certain
15 standard or certain savings number that we --

16 MR. MESSNER: Right.

17 MR. NGO: -- say there's a go or there's no go.

18 MR. MESSNER: Okay.

19 MR. NGO: So, bottom line is dollar per
20 kilowatt, or dollar per watt, or cent per watt, whatever
21 it is.

22 MR. MESSNER: And it's gas -- or I heard gas or
23 electric, both you're looking at?

24 MR. NGO: Pretty much, yes.

25 MR. MESSNER: Okay.

1 MR. NGO: But what we have so far, we don't see
2 any electric dryer in the commercial dryer.

3 MR. MESSNER: Yeah, well, in our comments there
4 were -- we provided shipment data for electric and gas
5 commercial dryers.

6 MR. NGO: Yeah.

7 MR. MESSNER: Yeah, there's certainly a lot more
8 gas.

9 And AHAM represents the residential style, not
10 the larger commercial style.

11 MR. NGO: Oh, okay.

12 MR. MESSNER: But those, I think, probably
13 are --

14 MR. NGO: I have a curious question for you. Is
15 a super-spinning washer will help?

16 MR. MESSNER: So, on the --

17 MR. NGO: Super speed I'm talking about.

18 MR. MESSNER: Right. Well, so I'll try to
19 answer this fairly quickly. But we dealt with this for
20 the residential style clothes washer/dryers, so for
21 Department of Energy. So, on the Federal standards the
22 clothes washer has three components with the energy
23 factor.

24 One is the "drying" portion. And that drying
25 portion is basically the RMC, the remaining moisture

1 content at the end of the washer cycle and that
2 remaining moisture content has changed and over each
3 test procedure.

4 And so, the remaining moisture content from the
5 clothes dryer then feeds into the test procedure for the
6 dryer.

7 Now, there is -- you can't just keep increasing
8 the speed of a clothes washer to infinity because what
9 happens is the clothes actually -- the spinning gets so
10 fast that they actually start blocking the holes and you
11 can't -- there's a diminishing return for the water
12 extraction.

13 MR. NGO: Oh, okay.

14 MR. MESSNER: So, we've pretty much hit that on
15 the clothes washer so you can't really go much further
16 on that.

17 But yes, to your question, yes, it does have an
18 impact and we've tried to find that sweet spot where it
19 is with the residential side that then feeds in to the
20 starting RMC for the dryer side, and then it goes to the
21 final RMC for the dryer portion, as well.

22 MR. NGO: Thank you.

23 MR. MESSNER: But there is diminishing returns,
24 kind of counter intuitive, but it does. And if you get
25 the holes too big then the clothes get sucked through.

1 If you get them too small there's amount of water, so
2 there's a lot of things that go into that.

3 MR. HARMS: Yeah, I'll just make a couple of
4 additions. I'm Luke Harms with Whirlpool Corporation.

5 Before I make any comments, I just had a
6 question because I think, Tuan, where you were
7 describing the scope you mentioned that it was focused
8 exclusively on residential style models, but then we had
9 some discussion about larger, 30-pound machines as well.
10 Can you clarify that?

11 MR. NGO: Oh, yeah, sorry. I should be clear
12 about that one. I'm kind of fumbling on that
13 presentation.

14 What I tried to say was the product definition,
15 the description of the product that we're talking about,
16 it just says something like commercial dryer is a
17 residential dryer but it more -- it have more rugged
18 design so to be able to last. So, that's all that's the
19 meaning it is. I didn't mean to say it will have
20 anything to do with -- I mean the standard will have
21 anything to do with residential program.

22 MR. HARMS: So, you're focused on the soft-mount
23 residential size machines just --

24 MR. NGO: Coin-Op.

25 MR. HARMS: Right.

1 MR. NGO: Right.

2 MR. HARMS: Okay.

3 MR. NGO: No, no, the largest size we are
4 looking at, we are looking at commercial dryers,
5 including the on-facility -- what was the term? I'm
6 getting old.

7 Anyway, there was a coin-op and a Laundromat,
8 and then there's the one like they use over at the
9 prison, or in the hospital, stuff like that, and hotels,
10 stuff like that. So, those are the three we are looking
11 at.

12 MR. HARMS: Okay, thank you.

13 MR. NGO: So, those are the scope that I will --

14 MR. HARMS: And also to add a few points about
15 efficiency, obviously, we are washing two to four times
16 more loads per day in commercial versus residential and
17 there's a much stronger business case for high-
18 efficiency machines in terms of energy and water
19 savings.

20 So, what you will see in the commercial market
21 is a higher market share of high-efficiency washers,
22 higher extraction speeds.

23 And you will also see some route operators in
24 the business that have 100 percent front-load washers
25 that they're placing in the market.

1 So, you will see a great deal of efficiency in
2 drying from faster extraction speeds in washers. And
3 just to put some numbers to it, the G-force of our
4 washer extraction today is in the range of 300 versus
5 the historical number of 90 to 100.

6 MR. NGO: You're talking about the speed rate?

7 MR. HARMS: Yeah, we use G-force in commercial
8 because the drum sizes vary so much. But generally,
9 they're much faster than they used to be.

10 MR. NGO: I'd like to have some more information
11 about that, I want to read more about that one. Could
12 you give me some information later?

13 MR. HARMS: Yeah, certainly.

14 MR. NGO: Yeah, just send to the docket and
15 we'll look into it. Because like I said, you know, we
16 didn't have much on this item.

17 MR. HARMS: Okay.

18 MR. NGO: And I really -- again, what we're
19 looking for is something where we can -- you know, where
20 we can develop some standard that will benefit the
21 customer, and that's all we would care about.

22 MR. HARMS: Yeah, and Kevin touched on many of
23 the other points I wanted to make, but just really
24 quickly time is critical in commercial, both in
25 businesses that are using commercial washers, hospitals,

1 hotels, et cetera, but also Laundromats. I mean, if
2 you're taking time out of your day to go to a Laundromat
3 you can't go on with your daily life activities. So,
4 anything that would significantly extend the drying
5 cycle would be rejected by our customers.

6 MR. NGO: Anything else?

7 MR. MESSNER: Yeah, just on the one -- one last
8 thing I forgot to point out, on the commercial dryers,
9 as you probably stated it, a little more rugged is the
10 right technical term, but rugged, durable, that they're
11 that way -- I'm trying to say this the right way.

12 I guess I don't think of it as necessarily
13 extending the life in the sense that if you think of we
14 normally do 15, 10 to 15 year life for residential
15 versus the commercial, the residential style commercial,
16 but you're getting more cycles.

17 So, with the commercial style -- with the
18 residential -- with the commercial clothes dryers
19 they're being used much more frequently during that
20 year. So, in a 10- to 15-year time period the
21 commercial dryer is being used much more frequently than
22 the residential clothes dryer.

23 So, the reason -- that's one of the reasons why
24 they're more -- they're built differently --

25 MR. NGO: Built to last.

1 MR. MESSNER: -- is because they need to
2 withstand that. Yeah, it's built to last, but it's
3 built to last the same 10 to 15 years as you would see
4 in a clothes washer, but based on its usage. It's a
5 much different usage. People are packing in as much as
6 they can fit in there to get their money's worth. And
7 they're going in and they're just being used again and
8 again.

9 Where you're in your home you maybe use your
10 dryer four times a day, most people are -- the general
11 usage cycle for a residential style is much less. So,
12 that's one of the reasons they are built differently and
13 they need to be built differently for -- you know, so I
14 just wanted to point that out, if that --

15 MR. NGO: Thank you. Yeah, I probably need your
16 help later in terms of when we start going through the
17 proposal and we write a report, and stuff like that. I
18 will call you and bother you all the time to make sure I
19 get all the information that I need.

20 MR. MESSNER: Please do. No, I wish you would,
21 especially before the proposal comes out if you have
22 questions, please let us know.

23 MR. NGO: Yeah.

24 MR. MESSNER: We would like to just start from
25 the same set of facts and then it's easier to then just

1 go forward from there.

2 Because if we don't understand or are on
3 different pages on the facts, it just gets frustrating
4 for everyone and we want to start out early --
5 hopefully, I mean we're not -- we're having trouble
6 seeing the energy savings for this particular product,
7 and then the dollar savings, and everything. But it's
8 good to see how you guys frame that out with the time
9 you go forward.

10 MR. NGO: Okay, thank you.

11 MS. ZHANG: Yeah, Yanda with TRC, I'd like to
12 make some last clarification. And I -- through the
13 discussion I think I understand, again, is that your
14 focus seems just on what you call residential style
15 commercial dryers.

16 MR. NGO: Uh-hum.

17 MS. ZHANG: And just to let you know what we
18 provide to the Commission covers what we think is all
19 commercial dryers, including residential style, and also
20 the larger ones for coin-operated laundromats, and which
21 seldom goes up to 400 pounds. Right, they're not the
22 type of machine you are focusing on right now. That's
23 one.

24 And two is that we -- you know, to me the line
25 between, for example, the multi-family residential use

1 versus commercial use, the line is getting kind of
2 vague. But I definitely remember when I was in, you
3 know, university, their dryers is big ones. They're not
4 residential style, right.

5 And also, we also we also see people making kind
6 of like small-size commercial dryers, doesn't look
7 like -- it's not like residential style. You know that,
8 yeah.

9 They're targeting for small commercial uses.
10 You know, for example you have a restaurant you want
11 one, or small hotels you want one use blanket and
12 sheets.

13 MR. NGO: Right.

14 MS. ZHANG: And they're not residential style.
15 And what I don't know is how that piece of machine or
16 models get penetrated into residential multi-family use
17 because they're just a dryer, you know. You could see
18 they begin to use by common users, you know.

19 So, it just seems to me that line is getting
20 unclear. It is related. It is related in the sense is
21 back down the road we can talk about the test
22 procedures.

23 For example, just like DOE classify compact
24 dryer, which is standard size, I don't know how the line
25 is -- you know, for example, even standard size machines

1 you can see, you know, five to seven, something like the
2 range of cubic -- you know, cubic feet range.

3 And I mean I think this issue probably we need
4 to discuss altogether. This became to be more severe in
5 a sense. You have residential style serving multi-
6 families, but you can have also small commercial styles
7 serving, potentially, the same people.

8 And when you have design and test procedures,
9 you kind of have to consider them both. That's
10 something to keep in mind.

11 MR. NGO: Yeah.

12 MR. MESSNER: Yeah, those are good points. So,
13 just we're talking about dryers, but just clothes dryers
14 we general have different product classes in Department
15 of Energy, even refrigerators, compact, we're going to
16 have about 41 product classes for refrigerators here in
17 2014, from compact to full size, to freezers.

18 So, clothes washers, compact, standard, gas.
19 Dryers, vent-less, compact, standard, gas, electric,
20 there's six I think. So, there are differences.

21 But in the residential area then the test
22 procedure needs to deal with all those different classes
23 if -- and maybe the test procedure doesn't need to -- I
24 mean you have load tables. So, for clothes washers you
25 talk about the capacity in cubic feet. Dryers, we're

1 generally talking about pounds, so there's different
2 metrics on that.

3 So, if for dryers there's -- whatever that
4 drawing line is or that distinction between residential
5 style and non-residential style, the key part for us is
6 there is a similar platform between the residential and
7 the residential we're calling residential style.

8 When we get outside of that platform then you
9 get into the non-residential style. So, that's the
10 Department of Energy with commercial washers define that
11 separation because they're only doing commercial, not
12 for the residential stuff, it's a way in there.

13 So, there is a dividing line. What it is, the
14 engineers who do that know it when they see it, but
15 that's not good enough for -- you know, we would have to
16 come up with something.

17 But there would be a dividing line. Now,
18 whether it's certain poundage, up or below, and then the
19 compacts fall into that or above, you know, we'd need to
20 think through that to see what it is.

21 But I think for the residential style, at least
22 for what we represent, there's not many that are out
23 there in California.

24 For the commercial ones, I don't know if there's
25 more or less than those. And as Luke says, maybe

1 they're already at the efficiencies because there's an
2 incentive there because the purchaser is also paying the
3 electric bill, and it's not the vending, so you don't
4 have quite the same dynamic in the market place, maybe.
5 I don't know.

6 But yeah there is -- but I think there could --
7 there is a divider. And I don't know if the compact
8 would be a third component. It seems like there's just
9 really two buckets. Maybe there is a third one, but I
10 think there's two buckets.

11 And we can easily work through that, but it's a
12 good point.

13 MR. HARMS: And just to clarify, we not only
14 sell in the market via residential style units, we sell
15 tumblers up to, I believe, 120 pounds.

16 And, you know, my comments applied to both. But
17 certainly, we -- I wanted to make one other point,
18 although I forget what it was. I'll probably weigh in.

19 MR. MESSNER: Okay. Well, I think that's all I
20 have. Appreciate the time on this and maybe there's
21 others, I don't know, who want to comment. I'd like to
22 hear what others have to say on this, as well.

23 MR. NGO: Yeah, we'll speak with you and others
24 by the time we go into the proposal.

25 Once we go into the proposal and we know what it

1 is, then we will consider everybody seriously. I mean,
2 not that we don't consider everybody seriously now, but
3 we'll have a -- that's not what I meant, misspoken.

4 I mean we will consider everybody's comment, you
5 know, carefully and then, you know, from there then we
6 can discuss and see some compromise or something we can
7 do now, some things are not effective.

8 You know, we really -- like I said, we really
9 want to develop standards that are workable for
10 everybody.

11 MR. MESSNER: In the proposal stage, just my
12 assumption is that you're looking for proposals of -- a
13 proposal of establishing a standard for this product.
14 Where AHAM's position is we don't think these are
15 appropriate for a standard and that would --

16 MR. NGO: Then you say so.

17 MR. MESSNER: That would not be a proposal.

18 MR. NGO: Then you say so.

19 MR. MESSNER: That would be a proposal.

20 MR. NGO: Right, that will be a proposal.

21 MR. MESSNER: Okay.

22 MR. NGO: A proposal saying now.

23 MR. MESSNER: Okay. Yeah, I wasn't sure.

24 MR. NGO: Yeah.

25 MR. MESSNER: All right.

1 MR. HARMS: The one point I wanted to make is if
2 you're looking at the non-residential style units, I
3 think you're looking at annual shipments in the range of
4 1,500 or so, so it's very small.

5 MR. NGO: Oh, for residential commercial -- I
6 mean residential dryer?

7 MR. HARMS: Large tumblers, yes.

8 MR. NGO: Oh, okay.

9 MS. ZHANG: Are you talking about just local
10 or --

11 MR. MESSNER: In the industry.

12 MR. NGO: Okay, I know that we're ahead of time,
13 but I just want to know if anybody participating online
14 for our workshop? We are currently in the -- in the
15 commercial dryer.

16 Did anybody else have any comment or anything
17 that they want to say?

18 I'm not sure anybody is online, yeah.

19 MR. STRAIT: I don't see any raised hands.

20 MR. NGO: Okay.

21 MR. STRAIT: Just really briefly, just in case
22 we're missing any one of those -- anything we want to
23 hear, we're going -- if anyone has anything they'd like
24 to say, just let us know in the chat box and we'll use
25 that to queue up people that might have additional

1 comments that are phoned in.

2 Otherwise, we are going to move on. So, we'll
3 give you -- do we want to just wait like two minutes?

4 MR. NGO: Two minutes.

5 MR. STRAIT: Yeah, we'll just take a quick break
6 for a couple of minutes and anyone that would like to
7 speak, once we get back, simply say so in the little
8 chat box and we'll start queuing people up.

9 MICHAEL: Hello, can you hear me?

10 MR. STRAIT: Yes, we can. Who's this?

11 MICHAEL: Yes, this is Michael from SDG&E. This
12 discussion on the commercial dryer, with the base is due
13 to the coin-operated one. Just a comment, I think
14 there's possibly an energy-saving opportunity with the
15 auto shutdown. But if somehow we can clarify that for
16 the customer pay for a fixed time or when the clothes is
17 dry, and to highlight the fact that to shut down the
18 dryer early helps to protect their laundry.

19 Because one of the things, sometimes, if the
20 dryer continues to go on after the clothes has been
21 dried, it might not be good for the laundry. So, this
22 is a benefit for -- not an energy benefit to the
23 customer, but in this case it could happen that it also
24 save energy.

25 MR. MESSNER: So, sometimes -- Thank you, this

1 is Kevin with AHAM. Just sometimes people will put
2 money into the dryer and then dry, and take out clothes
3 that are dry and then put in and use the rest of the
4 time for another batch of clothes, or something else.
5 So, it's not like -- not like where somebody does it in
6 the home, where it's done, it's done.

7 When you're in the Laundromat you may have
8 another set of load, and you'll go in and add something
9 in that's not dry from another load. So, it may not
10 necessarily be an over-drying is what I'm saying, that
11 they'll pull it out when it's dry or they'll put another
12 batch in.

13 MICHAEL: Oh, okay. Okay, so if the machine
14 allows the customers to continue to use that machine
15 again, until the bought time is used up and then that
16 might be even better. Because sometimes, before when in
17 college, sometimes a sheet or a blanket, I have to put
18 coin multiple times, and it would be ideal if at the
19 time it would let me know so that I could put something
20 in, and keep on running, or rather for waiting for me to
21 just interrupting the machine of my opening the door and
22 checking the laundry, myself.

23 MR. MESSNER: Exactly. And then if someone's a
24 good neighbor and they're done with their time, and
25 somebody else is next to you and needs the dryer time,

1 you say, hey, yeah, go ahead and use the rest of my
2 time, and then you have to put less in.

3 MICHAEL: Sure.

4 MR. MESSNER: Generally, since people are buying
5 this time to dry in whatever increments, 5, 10, 15
6 minutes, people are not throwing the quarters down a rat
7 hole. They're paying just enough they need to dry their
8 clothes or dry others.

9 MICHAEL: Yeah. So, if some kind of sensor to
10 enable that, I think is still of value for the customer
11 in the future.

12 MR. STRAIT: Thank you for your comment.

13 MICHAEL: Okay, a second one. I haven't heard a
14 lot about this, but I do know on the residential side,
15 the residential appliance we discuss quite a bit the
16 connective functionality.

17 Is it opportunity where we can provide input for
18 the connective function even for commercial appliance,
19 like dryer? This might help either the manufacturer,
20 whoever services device, to monitor the operational
21 status of that device that maybe can do -- can come by
22 and do maintenance, rather than wait until the machine
23 break down.

24 And we thought that the proper operation and
25 maintenance also could help the machine to operate more

1 efficiently.

2 MR. NGO: Michael, please submit your comments
3 and questions in writing to us because we are --

4 MICHAEL: Yeah, okay.

5 MR. NGO: -- just receiving comments and
6 questions, and we are not, you know, going to answer any
7 of that. We'll consider your suggestions, your comments
8 when we look at the proposals, once they come into us
9 for evaluation.

10 MICHAEL: I will do that.

11 MR. NGO: Yes.

12 MICHAEL: I will do that.

13 MR. NGO: Yes, please do that. Thank you very
14 much.

15 Make sure that you have submit comments and put
16 in the docket number in there, too.

17 MICHAEL: Yes.

18 MR. NGO: Thank you very much.

19 MICHAEL: Thank you.

20 MR. NGO: Anybody else from online want to
21 comment?

22 MR. STRAIT: I don't think so.

23 Well, with that I'd like to call the end to this
24 session.

25 MR. NUFFER: And I think we'll take a break

1 until 3:00 because that's when we promised we'd start
2 the next workshop.

3 So, thank you very much.

4 (Off the record at 2:22 p.m.)

5 (Resume at 3:02 p.m.)

6 MR. BUTZBAUGH: It looks like everyone is in the
7 room, from what I can tell.

8 My name is Josh Butzbaugh. I'm working with the
9 California Energy Commission on the 2013 Appliance
10 Efficiency Rulemaking.

11 And today I'm going to discuss the results of
12 the invitation to participate for Portable electric Spa
13 Labeling.

14 The next slide. So, I will give a little
15 rundown on the purpose of the invitation to participate,
16 discuss the information requested.

17 Then I'll go through the information we received
18 from our responses and then discuss next steps to finish
19 it off.

20 So, the next slide. So, the purpose of the
21 invitation to participate, this is an opportunity for
22 stakeholders to inform the Commission's policy direction
23 and process and in this case, in regards to portable
24 electric spas.

25 And we received some information on portable

1 electric spas and we'll be going through that today.

2 The next slide. So, as you can see, we
3 requested a lot of information on portable electric
4 spas. We got a good amount of information on return.

5 And I'm not going to hit on every single item on
6 this list, I'm just going to address the critical pieces
7 that we received during this process.

8 So, the next slide. So, we got a number of
9 responses. In particular, the two responses that stood
10 out addressing the information we requested came from
11 the California Investor-Owned Utilities and the Natural
12 Resources Defense Council. So, those two organizations
13 will have their comments highlighted in this
14 presentation.

15 So, existing labeling, portable electric spas
16 are not labeled in a consistent way in the market right
17 now.

18 From the information collected by the
19 Commission -- excuse me, the information that's
20 collected by the Energy Commission right now for
21 portable electric spas includes manufacturer, brand,
22 model, volume, capacity, voltage, and stand-by power.

23 So, this information is readily available at the
24 Commission's fingertips to include a portable electric
25 spa label.

1 We also received comments indicating that other
2 information that would be valuable for a label would be
3 annual energy use and annual operating cost.

4 If anyone -- I'm going to just kind of queue up
5 some of these questions and some of these things that
6 were brought up in the invitation to participate. If
7 anyone has any thoughts on annual energy use or annual
8 operating costs being included in the label, feel free
9 to say something or raise your hand. Otherwise, I'll
10 move on to the next slide in a minute.

11 And that includes the folks on the phone, if you
12 want to put in a comment through the chat feature.

13 Peter, did anything come through? No.

14 MR. STRAIT: Not so far.

15 MR. BUTZBAUGH: Okay. So, I'll move on to the
16 next slide. So, these are -- so just recapping, that's
17 the information we're getting right now and some of the
18 information organizations said would be useful for a
19 label.

20 So, objectives of labeling, this was pretty
21 consistent through all of our responses. Mainly, the
22 main objective is consumer education, provide a way for
23 consumers to account for energy costs in their purchase
24 decisions, identify energy-efficient portable electric
25 spas, level the playing field for comparing products,

1 and improving compliance.

2 If there's anything I missed, anyone on the
3 phone or anyone here feel free to raise your hand. I'll
4 give you a minute. But this is what we saw in our
5 comments.

6 Okay. I will move on to the next slide. And by
7 the way, folks, at the end of these slides we'll open up
8 the mics and people can feel free to comment at the end,
9 as well.

10 So, install based, we received some information
11 from the RASS, the Residential Appliance Saturation
12 Survey, and this information was framed in the following
13 manner. We have 10 percent of California residences
14 owning a spa or hot tub. And then of these 10 percent,
15 92 percent are in single-family homes.

16 And of the 92 percent, 45 percent are heated by
17 electricity so that's what we're focusing on for
18 portable electric spas.

19 And again, of that 92 percent that are in
20 single-family homes, 46 percent are outdoor above-
21 ground, and that's also addressing portable electric
22 spas in this instance.

23 Does anyone have any thoughts or comments on
24 these numbers, on the validity of these numbers? And
25 that includes folks on the phone.

1 Okay, so that's the install based.

2 We'll move on to the next slide, market and
3 install base. So, this comes from the Association of
4 Pool and Spa professionals.

5 It indicates that there are about 7.4 million
6 hot tubs in the United States, 173,000 hot tubs sold and
7 installed in 2011, alone. So, that indicates roughly
8 2.4 percent growth annually.

9 And it also indicates that there are roughly
10 about 1.5 million installed hot tubs, including
11 commercial and in-ground in the State of California.

12 Any -- if there are no comments, I'll just move
13 forward on the next one. I don't see anyone --

14 MR. STRAIT: Hi. If anyone has any comments,
15 actually, on these slides or on the figures that we're
16 presenting, you can go ahead and enter it by chat
17 immediately, and we'll just take all comments about this
18 material at the end of the presentation. That way we
19 can just move through the presentation and we'll -- we
20 can revisit the slides, if needed to, after the end.

21 MR. BUTZBAUGH: That sounds like a good plan,
22 particularly for this presentation.

23 So, that was -- that's the majority -- that's
24 everything that we really received on portable electric
25 spas. As I said, we had two organizations submitting

1 the bulk of the information.

2 You know, and as our next steps we're accepting
3 proposals from June 10th to July 25th, and we will have
4 a template and guidance on how to submit proposals
5 coming in the next week or two.

6 The next slide. This screen arrow indicates
7 where we are in the process. These slides are available
8 online. As you can see, we're moving from the
9 invitation to participate stage to request for proposals
10 before we get to staff analysis.

11 And then the next slide is my title slide -- or
12 excuse me, my contact information slide, with my e-mail
13 address, and phone number, and also the docket number
14 for this docket, for this subject.

15 So, I'd like to open it up for anyone that has
16 any questions about what's been presented or any of the
17 information that's been submitted to the docket.

18 MR. WORTH: It's so fun to do this. Good
19 afternoon, Chad Worth on behalf of the California IOUs.
20 I just wanted to comment and echo support for labeling
21 spas. As mentioned, we just want to reiterate we think
22 that labeling spas will increase consumer education,
23 improve decision making, and improve compliance with the
24 existing Title 20 standards.

25 And because I believe there already are

1 standards, as we all know, for standby power consumption
2 for electric spas.

3 And we believe while some manufacturers are
4 already advertising their Title 20 compliance,
5 consistent labeling across different manufacturers would
6 be of value to consumers and lead to energy savings.

7 So, thank you.

8 MR. BUTZBAUGH: Thank you, Chad.

9 Anyone else in the room, Gary or Scott, do you
10 have anything you want to add or -- no, okay.

11 MR. STRAIT: We do have a comment. Somebody
12 asked what was most notable about the two submittals.

13 MR. BUTZBAUGH: So, someone asked what is
14 notable about the two submittals? Mainly, the market
15 information and the objectives of labeling, as I noted
16 in my slides those would be the two main things that
17 came across in the two comments. And they're available
18 on the web for view.

19 MR. STRAIT: Better? Oh, there we go. One
20 thing I can do for people that are listening in, and may
21 not have access to a keyboard, they might just be
22 listening by phone, I can unmute the lines and we can
23 see if anyone has a comment.

24 But sometimes this can create a lot of noise.
25 If there's too much noise, then I'll just go ahead and

1 mute everyone again. So, let's try this. Where is
2 this.

3 MR. NGO: Testing, testing.

4 MR. STRAIT: All right, the lines should be
5 open. If anyone has any comments, they can make them
6 now.

7 All right, as I'm not hearing anyone that is
8 making a comment, I'm going to go ahead and re-mute the
9 lines so we can move on to the next presentation.

10 MR. BUTZBAUGH: So, we just want to give it
11 maybe two minutes or three minutes?

12 MR. STRAIT: Oh, we have another question,
13 actually, by chat. The question is, "Any interest in
14 using the current labeling in APSP-14, energy efficiency
15 of portable electric spas?"

16 MR. BUTZBAUGH: Can you -- is that on the mic?

17 MR. STRAIT: It's in the chat box we had the
18 question, I'm reading verbatim.

19 MR. BUTZBAUGH: Sure.

20 MR. STRAIT: "Any interest in using the current
21 labeling in APSP-14, energy efficiency of portable
22 electric spas?"

23 I'm assuming that's the standard.

24 MR. BUTZBAUGH: Okay. And I would say yes
25 for -- in regarding -- I mean there is -- we're open to

1 looking into APSP-14. I recommend that any stakeholders
2 or interested parties that believe that's the right way
3 to go that they submit a proposal or put information in
4 the docket, so that way we can take a look at it and
5 investigate APSP-14 a little further.

6 Go ahead, Gary.

7 MR. FERNSTROM: This is Gary Fernstrom
8 representing PG&E. That sounds like a good idea. If
9 there's already a voluntary label that is agreed upon by
10 industry, it would be great if California could just
11 adopt that. But it would have the effect of making a
12 label where at least the information on it is mandatory
13 so far as California is concerned.

14 So, the industry and the proposers should bear
15 in mind the consequences of offering that up in order to
16 meet a mandatory requirement in California.

17 MR. BUTZBAUGH: Thank you.

18 MR. STRAIT: I'm not receiving any additional
19 questions or comments through chat.

20 MR. BUTZBAUGH: Okay. In that case, if there
21 are no more questions, then we can move along.

22 So, the next topic to discuss is Air Filter
23 Labeling.

24 I just went through these slides with the
25 portable electric spa folks just a few minutes ago, so I

1 will move to the next slide.

2 Similar idea, we're going to go through the
3 responses we received for air filter labeling and then
4 discuss the next steps.

5 So, the next slide. Again, the purpose of the
6 invitation to participate is to gather information to
7 inform the California Energy Commission on the direction
8 to go with these topics. And today we're going to
9 discuss air filter labeling in this presentation.

10 The next slide. Again, we requested a bunch of
11 information and we received different types. And I'm
12 not going to go through every individual piece of
13 information we received in the docket. I'm just going
14 to highlight the ones that seemed to be the most
15 important when going through the responses.

16 So, four organizations in particular put
17 together some strong comments and strong responses, and
18 those included the California Investor-Owned Utilities,
19 the Natural Resources Defense Council, Proctor
20 Engineering and 3M.

21 Again, with air filters the objective of
22 labeling is consumer and contractor education. So,
23 identifying the appropriate filter for HVAC equipment,
24 balancing the filter air flow resistance with reduction
25 in particulates, improving long-term health and energy

1 efficiency of HVAC equipment, facilitating compliance
2 with Title 24, and level the playing field for comparing
3 air filter products.

4 So, we received some comments on label location.
5 Everyone agreed that label location should be consistent
6 and easy to find. Some of the ideas were mixed, though.
7 Some of the comments mentioned the label could be
8 affixed to the air filter, itself. It should be
9 persistent, for instance, it should last so that way the
10 consumer can see it when they pull the filter out.

11 Other folks said the front or back of product
12 packaging, or on the insert or the plastic bag. And we
13 can discuss those at the end of the presentation.

14 So, the next slide. So, current labels, we have
15 the minimum efficiency reporting value, the MERV rating.
16 And this relates to particle efficiency, which is a
17 filter's ability to remove particles from the air.

18 However, this rating does not capture energy
19 efficiency, which is addressed in the measurement of
20 pressure drop or resistance.

21 There's also the micro-particle performance
22 rating, which is exclusive to 3M products.

23 And then the filter performance rating, or FPR,
24 which is exclusive to air filters sold at the Home
25 Depot.

1 And there's a 2012 survey conducted by the
2 California IOUs and these are the results of the survey.
3 I'm presenting these results just to give a picture of
4 what the market looks like.

5 So, in some cases you have no label, then you
6 have the MPR only, or the MERV only. And then in the
7 case of Home Depot you have FPR and the MERV, or FPR and
8 MPR, and then in some cases you have just the FPR. So,
9 it's a real mixed bag right now for air filter labeling.

10 The next slide. This is the AHRI 680 standard
11 rating. We received some responses that indicated this
12 is a good starting point or a preferred starting point
13 for air filter labeling.

14 This label has initial resistance across air
15 flow rates. It has the final resistance. It has dust-
16 holding capacity, and particle size efficiency across
17 the different particle size types.

18 The next slide. Some of the comments we
19 received indicated some questions about this label, such
20 as are fine particulates adequately addressed? Are the
21 particle size groupings relevant to consumers? Are
22 these different air flow rates relevant to consumers?

23 And those are the kinds of questions I would
24 like to hear your comments on at the end of the
25 presentation.

1 So, labeling costs, we received some good
2 information on labeling costs indicating the new label
3 has an initial cost of \$2 million. This includes the
4 plates, the labels, the manufacturing processes, costs,
5 graphics and artwork.

6 And associated with this comment was another
7 comment indicating that altering an existing label has a
8 cost of \$500,000 annually.

9 If possible, I'd like to hear a little bit more
10 about the annual cost, whether that's similar or not
11 from the new, initial cost, and what would make the most
12 sense in the case of air filter labeling.

13 The next slide is on market characteristics.
14 This is from the Residential Appliance Saturation
15 Survey, RASS.

16 It indicates that around 10 percent of
17 households have no central AC, whereas 77.6 percent have
18 one, and then 9 and a half have two central ACs.

19 So, I think the question is, is there an
20 appropriate average about one central AC per household?
21 Does that make sense to folks?

22 And then is it safe to assume that air filters
23 are changed out twice per year?

24 I'd like to get some thoughts from the audience
25 on those two questions.

1 So, next steps, the Commission is accepting
2 proposals for efficiency measures from June 10th to July
3 25th. And our proposal template and guidance is coming
4 in the next week or two.

5 If you have some thoughts on proposing
6 standards, or any sort of efficiency measure, and that
7 can include consumer education and whatnot, please put
8 together a proposal and submit it to the docket.

9 Again, the public participation, this green
10 arrow is where we are in the process.

11 And then, finally, my contact information on the
12 last slide.

13 So, I'd like to open up the mics for folks to
14 hit on some of the issues I brought up in the
15 presentation.

16 MR. STRAIT: Actually, before we open up the
17 live mics for those listening in remotely, we're going
18 to take comments in the room.

19 MR. STEUBEN: All right, thank you. My name is
20 Jeff Steuben and I'm with Energy Solutions, representing
21 the California IOUs.

22 And I have really just two comments that I want
23 to make about this process in general, that Josh touched
24 on about the persistence issue.

25 So, when thinking about the labels on the

1 filter, we would like to encourage the application of
2 that filter, the label to the filter, itself, in
3 addition or instead of on the packaging.

4 Because as you know, when you install the air
5 filter the homeowner discards the packaging, so that
6 information is then lost. So, if the consumer wants to
7 buy the same filter, again, they need that information
8 on the filter, itself. Or if an inspector is looking at
9 the air filter to make sure that it's compliant with
10 Title 24 that information needs to be there, whereas the
11 packing, itself, is going to be discarded.

12 And my second comment is really just sort of an
13 overall comment about this process. We want to
14 encourage the consistency of the label information.
15 This is really sort of the main point, from our
16 perspective, that we want to have an industry-wide
17 standard label that all products will be -- have applied
18 and that way consumers really have one label that they
19 need to understand, and can look across all brands and
20 all products to easily just compare those two.

21 Thank you.

22 MR. BUTZBAUGH: Thank you, Jeff.

23 MR. STRAIT: All right, I have not seen any
24 comments or questions by chat. As I'm not seeing any
25 other comments in the room -- pardon?

1 MR. DURFEE: This is Scott Durfee with the Nidec
2 Motor Corporation.

3 A couple comments that I wanted to make on the
4 labeling is taking into consideration the energy
5 efficiency of the HVAC system, and the effects that it's
6 going to have.

7 The furnace, obviously, there's three -- there's
8 three different types of motors that are used most in
9 furnaces. One is a PSC motor that when the filter gets
10 clogged will not run any harder, but it makes the system
11 run much longer.

12 Then you have motors that work in a torque mode
13 that will overcome this to a certain point.

14 Then we have some motors out there that are
15 controlled by CFM, or cubic feet per minute, so
16 regardless of how clogged that filter gets it's still
17 going to push the correct amount of air to get the
18 correct efficiency over the A coil.

19 The issue or the problem is this increases the
20 energy requirement to run the HVAC system. So, any
21 considerations also need to take into the life of a
22 filter, how long this filter is going to stay or create
23 this kind of pressure drop and before it needs to be
24 changed.

25 Because we're finding that being one of the

1 biggest causes of inefficient HVAC systems being clogged
2 filters.

3 MR. BUTZBAUGH: Thank you, Scott.

4 MR. STRAIT: Are there any additional comments
5 for the room?

6 MR. BUTZBAUGH: Since we got started a little
7 early, we may want to --

8 MR. STRAIT: Oh, I wanted to open --

9 MR. BUTZBAUGH: Okay.

10 MR. STRAIT: -- up the online, unmute everybody.

11 MR. BUTZBAUGH: Sure.

12 MR. STRAIT: Just one moment here.

13 Hi, who is speaking?

14 All the phone lines are currently unmuted, so if
15 anyone listening in remotely would like to speak, simply
16 speak up.

17 All right, I'm going to re-mute the lines.

18 Anyone that has any additional comments please
19 submit them through the chat box.

20 And as always, we will take any additional
21 information in writing. You can submit them to the
22 dockets listings, as posted on our website, or to the
23 contact information we're displaying at the end of each
24 presentation.

25 This same contact information is present in the

1 downloaded versions of these presentations, so we will
2 accept these comments at any time in the next few weeks.

3 MR. BUTZBAUGH: Great, let's just give it maybe
4 five minutes and then if no one has any more comments
5 from the phone, then we'll just end it then, since we
6 started early.

7 (Off the record)

8 Peter, unless we have any more comments from the
9 chat then --

10 MR. STRAIT: I am not seeing anything in the
11 chat box. No one has indicated they have any additional
12 comments.

13 MR. BUTZBAUGH: Okay. Then in that case we'll
14 excuse the workshop. Thank you everyone.

15 (Thereupon, the Workshop was adjourned at
16 3:31 p.m.)

17 --oOo--

18

19

20

21

22

23

24

25