

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
CALIFORNIA ENERGY COMMISSION

IEPR LEAD COMMISSIONER WORKSHOP
CLIMATE CHANGE AND THE ENERGY SECTOR

CALIFORNIA ENERGY COMMISSION

HEARING ROOM A

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

TUESDAY, JUNE 4, 2013

10:00 A.M.

Reported by:
Tahsha Sanbrailo

APPEARANCES

Commissioners

Chair Robert B. Weisenmiller, Energy Commission
Commissioner Karen Douglas, J.D., Siting Lead
Commissioner

Staff

Suzanne Korosec, IEPR Lead
Laurie ten Hope, Deputy Director, Research &
Development Division

Presenters

David Pierce, Scripps Institution of Oceanography
Dan Cayan, Scripps Institution of Oceanography
Joshua Willis, Jet Propulsion Lab, and Dan Cayan,
Scripps Institution of Oceanography
Garth Hopkins, CalTrans
Craig Bolger, Pacific Gas & Electric
Gregory Biging and John Radke, UC Berkeley
Todd Esque and Ken Nussear, USGS
John Maulbetsch, Consultant
Gretchen Hardison, LADWP
Kathleen Ave and Obadiah Bartholomy, SMUD
Andrew
Petrow, ICF International

Public Comment & Questions

Gina Grey, WSPA
Richard Aslin, Pacific Gas & Electric
Steven Schwartzbach, USGS
David Michel, Energy Commission
David Show
Andrew Brown, ICF (online)

I N D E X

	<u>Page</u>
1 Introduction	
2 Suzanne Korosec, IEPR Lead	5
3 Opening Comments	
4 Chair Robert B. Weisenmiller, Energy Commission	9
5 Commissioner Karen Douglas, J.D., Siting Lead	
6 Commissioner	10
7 Workshop Overview	
8 Laurie ten Hope, Energy Commission	10
9 Climate Projections and the Energy and Transportation	
10 Sectors	
11 Potential use of probabilistic summer forecasts	
12 as a climate readiness tool for the energy sector	
13 - David Pierce, Scripps Institution of	
14 Oceanography	14
15 Trends in and projections of climate extremes of	
16 importance to the energy sector - Dan Cayan,	
17 Scripps Institution of Oceanography	34
18 The rising tide: Why Californians should care	
19 about Antarctica and Greenland - Dan Cayan,	
20 Scripps Institution of Oceanography for Joshua	
21 Willis, Jet Propulsion Lab	50
22 Potential impacts to the transportation	
23 infrastructure system - Garth Hopkins,	
24 CalTrans	65
25 Lunch (12:10 p.m. to 1:10 p.m.)	78
Impacts of Climate Change on Energy Supply	
Climate change and hydropower generation for	
PG&E - Craig Bolger, PG&E	79
Potential effects of sea-level rise on energy	

		4
1	infrastructure in the Sacramento-San	
2	Joaquin Delta - Gregory Biging and John	
	Radke, UC Berkeley	98
3	Endangered species, climate change, and	
4	Renewable energy - Todd Esque, USGS and Ken	
	Nussear, USGS	122
5	Energy Sector Responses to Climate Change	
6	Thermal power plants and hot days - John	
7	Maulbetsch, Consultant	147
8	LADWP prepares for climate impacts - Gretchen	
	Hardison, LADWP	163
9	Climate readiness/adaptation options for	
10	SMUD - Obadiah Bartholomy and	
11	Kathleen Ave, SMUD	177
12	Energy Assurance for California: CaLEAP and	
13	other programs - Andrew Petrow, ICF	
	International	194
14	Public Comments	211
15	Adjourn (4:20 p.m.)	212
16	Reporter's Certificate	213
17	Transcriber's Certificate	214
18		
19		
20		
21		
22		
23		
24		
25		

P R O C E E D I N G S

JUNE 4, 2013

10:00 A.M.

CHAIRMAN WEISENMILLER: Good morning. Let's start the meeting.

MS. KORESEC: All right, good morning everyone. Thank you for your patience. I'm Suzanne Korosec. I manage the Energy Commission's Integrated Energy Policy Report Unit and thank you for coming to today's workshop on Climate Change and Energy.

A couple of housekeeping items before we get started, restrooms are in the atrium out the double doors and to your left. Please be aware that the glass doors next to the restrooms are for staff only and will trigger an alarm if you try to exit the building that way.

There's a snack room on the second floor at the top of the atrium stairs under the white awning for coffee and things and for lunch we've provided a list of restaurants within walking distance of the building that you can pick up on the table out in the foyer. Today we also have the Farmer's Market going on at the park across the street and there are some food vendors there as well.

If there's an emergency and we need to evacuate the building please follow the staff outside

1 to the park across the street and wait there until
2 we're told that it's safe to return.

3 Today's workshop is being broadcast through
4 our WebEx conferencing system and parties need to be
5 aware that you are being recorded. I will make the
6 audio recording available on our website in a couple of
7 days and we'll post a written transcript on our website
8 in about two weeks.

9 In addition to time for Q&A during today's
10 presentations we'll also have an opportunity for more
11 general public comment at the end of the day. At that
12 point we'll take comments first from those of you in
13 the room, followed by those participating in the WebEx.
14 When you're making comments or asking questions please
15 come up to the center podium to use the microphone, so
16 we make sure that the people on WebEx can hear you and
17 that we get your comments reflected in the record.

18 It's also helpful if you can give our
19 transcriber your business card, either before or after
20 you speak, so that we make sure that your name and
21 affiliation are correct in the transcript.

22 For WebEx participants you can use the chat
23 function to tell our coordinator that you have a
24 question or comment. We'll either relay your question
25 or open your line at the appropriate time. And for

1 those of you who are phone-in only we'll open all the
2 phone lines after we've taken comments from the people
3 in the room and on the WebEx.

4 Please keep your phone lines muted unless you
5 intend to speak, because otherwise we get a blast of
6 static when we open the phone lines.

7 We're also accepting written comments today,
8 on today's topics, until close of business June 18th.
9 And the notice for the workshop, which is out on the
10 table and also posted on our website, explains the
11 process for sending in written comments to the IEPR
12 docket.

13 Just a little bit of quick context for the
14 workshop. Public Resources Code requires the Energy
15 Commission to assess all aspects of the energy system,
16 including progress toward reducing GHG emissions and
17 addressing climate change.

18 The scoping order of the 2013 IEPR identified
19 the potential vulnerability of California's energy
20 infrastructure to the effects of climate change as a
21 key topic this year following up on a workshop we held
22 during the 2012 IEPR update proceeding on climate
23 change, which we'll hear more about in the workshop
24 overview.

25 Climate change issues continue to be a thread

1 that runs through most of the other topics in the IEPR
2 including the need to better reflect the impacts of
3 climate change in our electricity and natural gas
4 demand forecasts. And to consider the effects of
5 climate change as we evaluate the need for electricity
6 infrastructure in Southern California and the rest of
7 the state to maintain reliability.

8 Our lead commissioner today, Commissioner
9 Andrew McAllister, is in Washington D.C. He's unable
10 to attend; he's asked me to read a statement from him.

11 "I am on Commission business away from
12 Sacramento this week, and as regretfully am unable to
13 be with you all today. First, I would like to extend
14 my sincere thanks to all of you, who have come to the
15 Commission in person or connected remotely, for your
16 participation and substantive input.

17 "Second, I want to recognize the IEPR and
18 division staffs who have wrestled with a wide variety
19 of issues to put together a compelling agenda for
20 today's workshop.

21 "Finally, I'd like to express my gratitude to
22 Chair Weisenmiller and Commissioner Douglas, most
23 immediately for leading this workshop today, but also
24 more broadly for their complimentary roles in ensuring
25 our state properly addresses the urgent climate

1 challenge. California is already and will be
2 increasingly indebted to them for their persistent
3 efforts to drive our energy sector towards improved
4 cleanliness and resilience.

5 "Please enjoy today's workshop and do make
6 sure to get your thoughts on the Commission record.
7 While you're doing that I'll be putting California's
8 Clean Energy leadership on the Congressional Record in
9 Washington D.C. It's a team effort. Commissioner
10 McAllister."

11 So with that I'll turn it over to Chair
12 Weisenmiller for opening remarks.

13 CHAIRMAN WEISENMILLER: Yes, I'd like to
14 thank everyone for their participation today. As
15 Suzanne noted this is a follow-up to last year's
16 workshop.

17 And again, I think it's a good opportunity to
18 look at the effects not only of energy use on climate,
19 but also on climate change on our electricity or on our
20 energy sectors. And certainly going forward I think
21 all of us are aware of the potential impacts and the
22 need for us to look at energy infrastructure in terms
23 of ways we might enhance the readiness of it or
24 preparedness of it, adaptability to respond to these
25 changes.

1 So again we're looking forward to a very
2 informative session. We want to thank everyone for
3 their participation today and indicate that this will
4 certainly be one of the things in the IEPR and also as
5 we continue to scope out our next study that certainly
6 we appreciate the content today to reflect that now
7 thinking.

8 COMMISSIONER DOUGLAS: Good morning,
9 everyone. I don't have much to add to that
10 introduction. I'm very pleased to see this focus in
11 this workshop and in the IEPR. And I'm looking forward
12 to hearing from our speakers today, so thank you.

13 MS. KORESEC: All right, our first speaker is
14 Laurie ten Hope.

15 MS. TEN HOPE: Good morning, welcome to the
16 workshop. I'm Laurie ten Hope, the Deputy Director of
17 R&D and I'm just going to provide a little bit of
18 historic context for our workshop today.

19 Many of you have been following this issue
20 for quite awhile. But the Energy Commission has a
21 history of research in the climate science area
22 starting around 2000, and have published about 20
23 projects in the area around climate science and the
24 impact on the energy infrastructure. But more work is
25 really needed to understand fully what the impact is on

1 our system and how we can best prepare and mitigate
2 these challenges ahead.

3 The research has been critical in framing the
4 discussion on climate for decision makers and it's been
5 compiled into three assessments. The first assessment
6 in 2006 was influential in the passage of AB 32. The
7 second assessment in 2009 explored the economic impacts
8 and led to the first inclusion of adaptation in the
9 2009 Adaptation Strategy. And the Adaptation Strategy
10 specified that the third assessment should focus on the
11 vulnerabilities of sectors to climate change and
12 explore what those adaptation options could be.

13 These peer reports that have been published
14 and included in the assessments are peer reviewed.
15 They're available on the Energy Commission's website in
16 providing a transparent, publicly accessible source for
17 climate science research.

18 The next two slides focus on the context from
19 the last year's IEPR. And in the 2012 IEPR in April
20 research highlighted the impacts of climate change --
21 sorry, I lost my place here. The workshop focused
22 first on the impacts of climate and second on the
23 adaptation strategies. Some of the highlights of the
24 research were the impacts of hydropower units, snowpack
25 on hydropower units, electricity demand in response to

1 temperature taken all the way down to the zip code
2 level, and identification of the power plants that are
3 most vulnerable to flooding with sea-level rise.

4 The workshop also highlighted some of the
5 strategies to prepare our system for a changing climate
6 and two -- there are a lot of research projects in this
7 area, but two we wanted to profile here that are
8 continuing to be developed and used.

9 Our first, the INFORM Project, which is a
10 decision-support tool that helps reduce the impacts of
11 climate variability and helps us better understand how
12 to manage our hydro-system as variability becomes more
13 noticeable in future years.

14 The second is the SWITCH Model, which is
15 allowing us to really look at various energy scenarios
16 and really look at far out in the 2020, 2030 and 2050
17 time range of what our possible energy paths are to get
18 to our GHG reduction goals. And then also take those
19 scenarios and look at what are the potential
20 environmental impacts from those various scenarios, so
21 we can pick paths that have both the lowest GHG
22 potential, but also avoid environmental degradation.

23 So this year's scoping order asked that the
24 researchers and stakeholders go further. We've touched
25 the surface on vulnerability and adaptation, but a

1 deeper understanding is really needed on the potential
2 vulnerability of our system to the effects of climate
3 change including higher temperatures, reduced snowpack,
4 sea-level rise and understanding extreme events like
5 heat waves, flooding and wildfires.

6 So this workshop today is organized into
7 three sessions. The first session focuses on climate
8 projection and will profile new methods to improve
9 demand forecasting, forecast extreme heat and
10 precipitation events, highlight the relationship of
11 melting icecaps to sea-level rise and present the
12 impacts on the transportation sector.

13 Our second session focuses on the impacts on
14 our supply system. And these sessions will present
15 utility findings on hydropower, showcase a new project
16 that's investigating the vulnerability of our natural
17 gas infrastructure in the delta and showcase the
18 cumulative climate and land use impacts on endangered
19 species, which is an important for siting and DRECP as
20 our commissioners are well aware.

21 Our final session is on the responses to
22 climate change and includes the technology presentation
23 on increasing efficiency of thermal power plants during
24 hot weather, presentations by two utilities on their
25 efforts to adapt to climate change and finally, a

1 presentation on a tool to assist local governments plan
2 for energy during emergencies such as extreme climate
3 events.

4 Before I turn it back to Suzanne to introduce
5 our speakers, I want to thank all the speakers who have
6 come today. And I also want to thank the staff who put
7 this session together today: Guido Franco, David Stoms,
8 Heather Raitt and finally the last, and Sekita Grant.
9 Thank you so much.

10 MS. KORESEC: Thank you, Laurie. All right,
11 our first speaker is going to be Mr. David Pierce.

12 MR. PIERCE: Okay, thank you very much.
13 Well, we're going to ease into the long-time scales
14 here a little bit gently.

15 As you know, weather to climate is a
16 continuum from something that's going to happen in 20
17 minutes to something that's going to happen in 100
18 years, so I'm going to start at the short-time scales.
19 And the reason for that is because it allows you to
20 give probabilistic information to energy firms. And
21 hopefully, you know, as that interaction with the
22 energy firms takes hold there will be a level of
23 comfort associated with these probabilistic products.
24 And it also engages the operational aspects of some of
25 the energy firms, which is a little bit different from

1 the planning. So that's the rational for starting
2 here.

3 And I'm just going to just mention a moment
4 about our data sources. I'm not going to bore you with
5 this hopefully, but it's quite hard to get long-term
6 good quality data of what's happening for the weather.
7 So we just have a handful of stations that we can use
8 for this and you see them there. And this is what we
9 use to try to predict what the maximum electricity
10 demand is going to be based on temperature.

11 Now this is a kind of picture you may have
12 seen before. It shows the daily peak electricity load
13 versus maximum daily temperature. And this particular
14 example is for Pacific Gas and Electric. I believe we
15 also looked at Southern California Edison and STG&E.
16 And as you can imagine as the temperature gets warmer
17 there to the right-hand side of the graph electricity
18 use goes up.

19 Now one thing you really notice here is
20 there's a lot of scatter in the data, so it's not a
21 smooth confined curve. There's all sorts of other
22 things happening here besides just temperature. Now
23 some of these are what people do, so for example there
24 is less energy use on weekends, we all know that, and
25 holidays. But other aspects of this are due to other

1 pieces of weather that are not just temperature. So a
2 little bit later I'm going to get into that and how we
3 can start trying to pick out more weather and climate
4 information that's affecting our electricity demand.

5 Now typically the way that this is done is
6 you use minimum and maximum daily temperature, and
7 whether or not it's the weekend or a holiday, to
8 project what that day's maximum energy use will be,
9 electricity demand will be.

10 So again, here is an example for Southern
11 California Edison and that blue line shows the results
12 of this kind of procedure, it shows the predicted load
13 based on temperatures and on the vertical axis is the
14 actual load. So this is showing you, this is just for
15 summer, because that's mostly what we care about for
16 our peak electricity load in California. And it shows
17 what I was saying before, but a little more easy to
18 see.

19 There is some error here and what I mean by
20 error is a very specific thing, which is there are some
21 variations in the load that are not accounted in this
22 rather straightforward way by temperature: daily
23 minimum, maximum and whether or not it's the holiday or
24 weekend. So let's call the error the difference
25 between what we expect the load to be and what it

1 actually is. And here for example, is the time series
2 of this error for Southern California Edison.

3 And this is kind of interesting to me, when I
4 look at this it's not just completely random, because
5 you can see it's low for awhile, then it's high for
6 awhile, then it's mixed for awhile. And when I look at
7 that it suggests to me that there's some other
8 deterministic factors that are influencing this
9 departure between what the actual load is and what you
10 expect it to be just based on temperature. So that
11 gives you some opportunity to look for additional
12 predictive power of how you could forecast some of
13 these loads, how you could reduce that error based
14 weather or climate phenomena.

15 Now one phenomenon that immediately will
16 spring to your mind is cloud cover. So here for
17 example, is a picture I took off from a satellite about
18 a week ago. And there we are in Sacramento in the
19 center of the state, you know, clear, sunny, very warm.
20 Where I live down in San Diego totally socked in when I
21 left this morning and it was overcast and cold and
22 blah-blah-blah. But, you know, whether or not the
23 clouds are there makes a huge difference.

24 Now I want to try to emphasize something as a
25 little bit of a subtle point. I mean, we all know that

1 whether or not clouds are there makes a difference to
2 the temperature, because when you've got clouds they
3 reflect the sunlight. I'm going beyond that. I'm
4 saying, "Well, we've already taken into account what
5 the temperature is, now do the clouds make an
6 additional factor? Do they have an additional
7 influence on the peak energy levels?"

8 Now there are a couple of reasons why you
9 might think that maybe this is something worth looking
10 at. Number one, if you've got -- if the sun's out, the
11 sun can shine through windows, and you've got more
12 interior heating than otherwise. And number two
13 remember those stations I showed you at the beginning?
14 They're really not that dense across California whereas
15 these clouds can be very specific to the coast. So it
16 could be that your general temperature indication for
17 the whole service area isn't really that fine-grained
18 enough to pick up these clouds too well.

19 In fact, the utility that operates the lights
20 where I live, San Diego Gas and Electric, has gone to
21 some effort to put in quite an extensive network of
22 local temperature sensors to try to get around this. I
23 haven't included that in my work, because it's a very
24 short record and I'm trying to look at longer time
25 scales, so we can't quite use that yet, but it's quite

1 good for their operational purposes.

2 So what are the effects of these low clouds?
3 Now continuing on the course of using Southern
4 California Edison here you're looking at Los Angeles
5 County there in the center, those lines are the county
6 boundaries. And all that white in the lower left,
7 that's cloud cover and the blue in the upper right,
8 that's land. And if you look at where the cloud cover
9 intersects the coast there you can see that the clouds
10 are intruding into the coast. And this is the average
11 cloud cover measured as how reflective the clouds are
12 at 9:00 a.m. in the summer of 2010. So you can see
13 like Santa Monica and other parts of Los Angeles that
14 typically have cloud cover there in the morning.

15 Now what you can do is say, "Well whether or
16 not we can try to relate whether or not there is
17 actually cloud cover there on any particular day, to
18 that load error that I just showed you." So we take
19 this load error and say, "Well, is this correlated with
20 whether or not you had those clouds?" And again, we're
21 already taking into account temperature, so this is an
22 extra effect.

23 And what you find is that if you look at the
24 difference in cloud dependent on whether the error in
25 load prediction is positive or negative you find this

1 consistent pattern. All those blues are saying that
2 when you've got more load than you expected just based
3 on the temperature you had less cloud than typical.
4 And the converse is also true. So when you had less
5 error you had more cloud. So this is showing this
6 relationship between the presence or absence of the
7 cloud and the amount of load forecast error even after
8 taking temperature into account. So there's another
9 piece here besides just the temperature piece that is
10 correlated to the cloud cover.

11 And these clouds are typically persistent, so
12 if you care about the same day sort of forecast you can
13 look and see if you've got a heavy cloud cover coming
14 in, in the morning then you have some information about
15 what it's likely to be that afternoon. It's
16 probabilistic information, because you don't know for
17 sure, but it has some probability of persisting that we
18 can quantify.

19 Now this is about ten percent difference in
20 the amount of cloud. When I look at that my question
21 is always, "Well, how big of a difference is ten
22 percent? I mean, is that a lot or a little?" So let
23 me just add this final picture. This shows the change
24 in cloud in terms of standard deviations. So one
25 standard deviation is sort of the typical amount of

1 variability and what you see is it's about a half a
2 standard deviation. And in practical terms that means
3 it's enough change to be significant. So for example
4 if the middle panel were so small that we didn't care
5 then this would be sort of irrelevant and I wouldn't be
6 showing it to you, but nonetheless. On the right you
7 can see it's about half a standard deviation, so it's
8 enough to do something with. You can make some
9 intelligent decisions based on this phenomenon.

10 And I already mentioned some of the reasons
11 this might be occurring are the direct solar rays come
12 through windows or perhaps the sensing of the average
13 temperature over the region is a very poor proxy for
14 what's actually happening. Now that's kind of
15 abstract, so I want to make it a little bit more
16 concrete by taking an example, and show you an example
17 of how this actually works.

18 So here I've put down every day, I know you
19 can't read those, but every little point there is a day
20 in the summer of 2010 in Southern California Edison.
21 And it shows that the date and what the temperature
22 was. So these two in red near the upper right are two
23 days that had very similar temperatures, but they had
24 quite different loads. So that's the kind of thing
25 that's quite interesting to us. Now neither are a

1 weekend or a holiday, so that's not coming into play.
2 But the temperatures were similar, but nevertheless the
3 loads were different. So I want to look and see, are
4 the clouds perhaps different on those days? That would
5 be some supportive evidence of what I just showed you
6 in general.

7 So here are these two days, they happen to be
8 August 17th and August 27th of year 2010. And the
9 maximum temperature there is the top, you can see is
10 virtually identical maximum temperature. Minimum
11 temperature does matter to electricity a little bit.
12 You can see it was a little bit cooler on the day on
13 the left, but nonetheless if you look at the load it
14 was a higher load on the day on the left and a lower
15 load on the day on the right by a fair amount. And the
16 cloud cover is shown at the bottom there. I hope you
17 can see the outline in California.

18 So if you look at the Los Angeles basin down
19 there the big difference you see between those two,
20 cloud patterns. If you know this it's Southern
21 California Edison are focused on Los Angeles it's that
22 the one on the right had a lot of cloud cover on that
23 day. Now again, same temperature so don't get that
24 confused, but there was a lot of cloud cover that day
25 where they had less load. So this is a way of trying

1 to extract additional weather sort of climate
2 information that goes beyond temperature, try to get to
3 more effects. And there are other ones you can think
4 about too. Humidity is an obvious one or perhaps wind.
5 You know we're trying to look at some of those.

6 Now let's go a little bit longer, that was a
7 9:00 a.m. kind of projection talking about the middle
8 of the day. Now I'm going to look longer, I'm going to
9 look on a season as a few months. What can you say
10 about the summer from say winter or spring?

11 So there's a couple of sources of what we
12 call the seasonal predictability. One is El Nino,
13 which I've illustrated here. That red strip across the
14 Tropical Pacific that shows where ocean temperatures
15 are warmer than usual during an El Nino. In the
16 recent, I mean look how far away that is, it's quite a
17 ways. The reason that matters to us here is because
18 that tends to steer the storms, so it can steer them
19 towards us or away from us, so it has an effect on our
20 region. So that's the El Nino Southern Oscillation, El
21 Nino.

22 Now another one, which you may not have heard
23 of is called the Pacific Decadal Oscillation or PDO,
24 and that has the pattern on the right. And again this,
25 you know, it's out in the center of the North Pacific

1 Ocean, but it still has an effect on weather on us here
2 in California. So what I'm going to do is I'm going to
3 take these two weather patterns and see what effect
4 they have on electricity demand in California.

5 And there is one last aspect I want to look
6 at which is how wet or dry the soil is. Now this is
7 known to make a difference in other parts of the
8 country. The reason you might think this would make a
9 difference is because if the soil's really dry, and
10 when the sun comes out it's got nothing to evaporate
11 out of the soil anymore, because the soil's dry. So
12 the sunlight goes to heating. Now if the soil was all
13 waterlogged and the sun came out it would go to
14 evaporation. So if the soil's dry you get higher
15 temperatures typically, especially on a sunny day.

16 Okay, so these are three sources of
17 predictability I'm going to be looking at: El Nino,
18 Pacific Decadal Oscillation and soil moisture.

19 Now what are we trying to predict? Well,
20 this is the Energy Commission so of course there are
21 things related to energy yes. For each of these three
22 utilities: Pacific Gas and Electric, Southern
23 California Edison and SDG&E I'm going to see if these
24 have any power to predict the number of hot days, which
25 is days gridded on 95 degree Fahrenheit; cooling degree

1 days, a pretty standard measure of how warm a season
2 is; and season average to average, season average
3 temperature to average daily temperature, daily maximum
4 temperature and daily minimum temperature. So those
5 are the things I'm trying to predict. And there's a
6 lot of details there I won't bore you with unless there
7 are questions. Then I'll bore you happily.

8 Okay, so this is the number of hot days per
9 year. A time series of that just observed in the three
10 service areas in since 1950, so you can see how it's
11 changed over time. So number of hot days per, number
12 of hot days is one the things I'm interested in
13 predicting, so I thought I'd be interesting to see how
14 it's changed.

15 Okay, well if you look at PG&E you can see
16 there has been quite a substantial increase in the
17 number of hot days per year. The light green ones are
18 ones in spring. The reddish ones are in summer and the
19 orange-y ones are autumn. So you can see that in PG&E
20 the increase has been in all seasons really.

21 Now if you look at the next panel in the
22 middle, Southern California Edison, you see an
23 increase. There hasn't been an increase since spring
24 in particular, it's a little hard to tell besides the
25 spring increase exactly what the main thing is,

1 probably summer.

2 At the bottom SDG&E, you don't see any
3 particular increase, so the kind of changes you see
4 depend on where you look, which service area you're
5 interested in.

6 So what in fact does the El Nino Southern
7 Oscillation have on these various quantities? Well, it
8 turns out that the strongest relationship from El Nino
9 is to Pacific Gas & Electric service region. And that
10 mostly the strongest relationship is to the number of
11 hot days early in the season, so May through June. The
12 relationships fall off after June. It also has weak
13 relationships to the seasonally averaged daily minimum
14 and maximum temperature. Now, for Southern California
15 Edison, that's the second strongest relationship. It
16 again relates to the number of hot days early in the
17 season. And for SDG&E again, number of hot days early
18 in the season, but that's weaker than the other two
19 relationships.

20 So to sort of summarize that El Nino has some
21 predictive power for these various service regions,
22 mostly on the number of hot days, almost exclusively
23 early in the season.

24 So the bottom two pods are intended to show
25 you what this means. I mean, I've just said it in

1 words, but how can you get a handle on that?

2 So if we look at that bottom left one with
3 the blue bars there that shows the number of hot days,
4 95 degrees or more in May and June and this is PG&E.
5 And so it's low in the winter, so this is a prediction
6 from winter to the next spring. And you see the little
7 bar on the left shows that you're unlikely to have few
8 hot days if El Nino is low. On the other hand you're
9 likely to have many hot days if El Nino is low.

10 So this is the probabilistic nature of it,
11 you see it's not that you're guaranteed by any means.
12 It's not like sort of an operational call that it will
13 be this. You see that there is a ratio here; it's
14 actually about ten to one in this case. You are much
15 likely to have a few hot -- sorry, many hot days than
16 few hot days, but it's not guaranteed. There is years
17 when that doesn't happen, so this is probabilistic
18 information.

19 The one on the right with the pink bars is a
20 similar sort of thing, but that shows when the phase of
21 El Nino is the opposite and you can see the response
22 over in California is again opposite as the phase of
23 ENSO changes.

24 This is the relationships with the Pacific
25 Decadal Oscillation, so the summary is there's 31

1 significant relationships between the PDO and these
2 predictors in the various service regions. They're
3 mostly just seasonal quantities, so there are not the
4 number of hot days like it was for ENSO. So that's an
5 interesting difference between El Nino and Pacific
6 Decadal Oscillation. In general when there's a warm
7 PDO it goes with a warm season in California and vice
8 versa.

9 And again at the bottom left -- let's look at
10 the bottom right just to be different. Now, I've
11 chosen SDG&E just to show you a different service area.
12 This shows the average maximum temperatures in spring
13 when the PDO is high and you can see you're unlikely to
14 have a cool spring when the PDO is high, but you are
15 much more likely to have a warm spring when the PDO is
16 high. Again probabilistic, it's not guaranteed,
17 because there's some years you can see right there
18 where it doesn't happen, but nonetheless the ratio is
19 quite pronounced.

20 Soil moisture the same sort of story, so I
21 won't belabor it, 33 significant relationships again
22 mostly just seasonal quantities, a few relationships
23 with hot days and it's mostly spring coincident. So if
24 we have a dry or wet spring it's mostly reflected in
25 that same spring and it doesn't hang out until summer

1 or autumn. It's a little bit different from other
2 parts of the country. We have a little bit less
3 predictability here in California than other places do
4 just based on soil moisture.

5 Now when we came up -- the next speaker Dan
6 Cayan and I came up here a couple months ago, and one
7 of the things we found people were quite interested in
8 was the hottest day in ten years. And for us this is
9 like a super-extreme event, because we typically look
10 and see 95th percent, which is a 1 in 20 sort of event.
11 Now the hottest one day in 20 year, you know, that's
12 like a 1 in 40,000 sort of event or something pretty
13 extreme. So the problem was that when people tend to
14 look at this information, when they look at extreme
15 days in the models they don't typically look at such
16 extremes. But nevertheless we found that it was of
17 interest here, so it's important. And we felt it was
18 important to try to qualify the models to see if they
19 were doing a good job predicting this, because it was
20 so extreme and it hadn't been looked at.

21 Okay, well here is the existing method we
22 used for regionalizing the climate information. And
23 what I'm showing here is how hot it is on the hottest
24 day in 20 years. And there are a bunch of colors there
25 you can't probably read, but if you look at the right-

1 hand panel it shows the difference between what the
2 models are simulating over the historical period. I'm
3 not talking about the future historical period, so it
4 should be right, the difference between the models and
5 the observations.

6 And see that blue fringe along the West Coast
7 especially in California? What that means is that the
8 models are systematically underestimating this kind of
9 super-extreme for this quantity. Now this is a
10 problem, because if you want to look at the 1 in 10 or
11 1 in 20 years' information from the model, this is
12 going to be a little bit deceiving. So what we've done
13 is what we're working on currently, this is a work in
14 progress, but I can show you some results of it.

15 This is a method we have, a new method we
16 have that's specifically intended to try to keep these
17 very extreme events. And it's in the same format as
18 before, so you can see that mostly it's addressed that
19 problem of the underestimation along the West Coast,
20 which was one of its design objectives you might say.
21 It also tends to reduce the underestimation of
22 precipitation extremes, which perhaps is not of
23 interest, immediate interest of the CEC. But it
24 affects flooding and so forth, so it's nonetheless
25 important to California.

1 So let me just summarize my key points.
2 There's some evidence that the marine layer cloud cover
3 is implicated in load forecast errors in the L.A.
4 basin. And again I want to emphasize what I mean by
5 errors is specifically the difference between what the
6 load actually is and what you might expect it to be
7 just based on temperature. So this is a way of saying,
8 "Look, these other meteorological quantities have a
9 discernible influence and they have some persistence
10 associated with them."

11 Now looking, that was sort of a day kind of
12 scale. If we go out to seasonal scale there is some --
13 you can do probabilistic seasonal outputs. ENSO has
14 some relationship to 95-degree days in the various
15 service regions. PDO relates more strongly than ENSO,
16 but it relates to seasonal averages so it's relating to
17 a different variable. So really which one of these you
18 would choose would depend on what you're interested in
19 as an energy producer. And dry conditions, dry soil
20 moisture influences spring conditions, but not later in
21 summer.

22 And we're interested to find out that there
23 was some interest in this 1 in 20 years, of the hottest
24 day in 20 years, which from our point of view was so
25 extreme we hadn't even looked at it. The model, the

1 current way of doing the models doesn't capture that
2 very well, but we think on our way to getting a new
3 method that might help with that. Okay, well thank
4 you.

5 CHAIRMAN WEISENMILLER: I guess the one
6 question I'd have is my impression is there's some
7 research to indicate that the load is higher, say the
8 third day of a heat storm?

9 MR. PIERCE: Yes.

10 CHAIRMAN WEISENMILLER: Even if the
11 temperatures are the same?

12 MR. PIERCE: Yes.

13 CHAIRMAN WEISENMILLER: And so I don't know
14 if you've looked at any of that sort of persistence
15 phenomena?

16 MR. PIERCE: Yeah, that's quite interesting;
17 you can see that too. We did that whole analysis
18 including what the CEC calls this Temperature 6-3-1,
19 which is 60 percent of today, 30 percent yesterday, 10
20 percent of two days ago. I just didn't show it here,
21 because of time but nonetheless you do see an effect
22 with that too. So there is a little bit of loading
23 effect. It's not terrifically pronounced I would say
24 and interestingly it's not real consistent year-to-
25 year, but you can see it yes.

1 MS. KORESEC: Do we have any questions from
2 the audience? All right, we did have one sort of
3 general question on WebEx not specific to this
4 presentation but sort of for going forward. It's from
5 Gina Grey from WSPA. "A Canadian University of
6 Waterloo study has just been published in the
7 International Journal of Modern Physics where data from
8 1850 to present day indicates that CFCs rather than CO2
9 are responsible for climate change. There is an almost
10 perfect correlation. Can one or more of the panelists
11 comment on this study and the validity of the work?"

12 So I don't know if you want to speak to that
13 or if we just have everyone keep that in mind as we're
14 going forward.

15 MR. PIERCE: I can try. I'm sure other
16 people might want to comment as well. There is a very,
17 sorry I'm speaking to someone who's not here, but
18 pretend I'm looking at you. There is a very clear and
19 direct association between carbon dioxide in the
20 atmosphere and the warming of the earth. And the
21 reason is unlike CFCs or to a lesser degree than CFCs
22 the quantity of heat that CO2 can absorb in the
23 atmosphere and re-radiate back to the earth is
24 tremendous, it's enormous. So CFCs do have some
25 effect. That's included in all the IPCC reports. You

1 can find it quantified there if you're interested. But
2 the CO2 effect is much larger, so it's a matter of
3 size. Size does matter, so there.

4 MS. KORESEC: Okay, oh yeah we do have one
5 more question. Come on, come on up.

6 MR. ASLIN: Yeah, just (inaudible) around
7 that way. I'm sorry, I did have one --

8 MS. KORESEC: We have one more question,
9 David.

10 MR. ASLIN: -- or just a general comment,
11 Richard Aslin PG&E. Just to say that we very much do
12 support this additional research on the recurrence
13 interval temperatures, because those are vitally
14 important for system planning. And I know PG&E is very
15 interested in this work. We'd like to see and help in
16 any way possible, so please feel free to call upon me
17 and I will be more than happy to get in contact with
18 the right people at PG&E to make sure that happens.

19 CHAIRMAN WEISENMILLER: Thanks.

20 MS. KORESEC: All right, our next speaker is
21 Dan Cayan.

22 MR. CAYAN: Good morning, it's a pleasure to
23 be here and good morning commissioners, friends. So
24 who needs a title, but the gist of this talk is aimed
25 at extreme events and largely focusing on temperature.

1 But of course, our area is more than that, so we'll
2 open up with things about other parts of the system.

3 Actually outsiders I think have the
4 impression that California is pretty bland. And often
5 when we get visitors they're shocked when we don't have
6 sunny, moderate days but it happens as we all know.
7 We've seen that observationally and of course, in the
8 future the projections are indicating that we'll see
9 even stronger extremes.

10 This is a lesson from precipitation records
11 collected, these are observations collected across the
12 United States. And let's see, I don't know where --
13 everybody's attention, if you focus back here we see
14 these bluer, greener colors. That indicates that the
15 volatility of precipitation, in this case this is water
16 year, so it's the total precipitation on an annual
17 basis. And the measure here is actually the standard
18 deviation scaled by the mean at any station. And what
19 you notice is that California is, by this measure, the
20 most up and down location, region in the country. We
21 are familiar with wet spells and dry spells and that
22 really bears out in relatively long records of the
23 data.

24 The other thing that -- another map
25 attributed to my colleague Mike Dettinger, who works

1 with us down at Scripps. Mike is a USGS employee.
2 Mike here has taken three-day total precipitation at
3 each location across the United States and what this
4 map calls out are the locations, which accrue something
5 in the neighborhood of 16 inches of precipitation or
6 more in a three-day period. And what is not
7 surprising, of course, is this cluster of these areas
8 that do receive that very copious precipitation along
9 the Gulf Coast, because of the rich Gulf moisture often
10 times tropical easterly waves and sometimes hurricane-
11 related activity.

12 But the other thing that really stands out
13 here is the number of really wet events that have
14 occurred in California. In fact, some of the greatest
15 exceedances occur in the Sierras and areas that are
16 exposed to moisture-laden air masses during winter
17 storms whereas much of this activity in the Gulf is a
18 summer activity. We are exposed to heavy winter storms
19 here in California, hence our vulnerability to
20 flooding. We have essentially the perfect situation:
21 lots of moisture from the Pacific, aerographic
22 influences, and then occasionally a lot of dynamics
23 that are able to set that off.

24 The other thing is that, of course, we live
25 on exposed coastline and while most winters are

1 relatively well-behaved occasionally such as the scene
2 here we get winters such as 1982-83 when we hit really
3 massive storms. David was talking about El Nino, this
4 is one of the great El Nino winters in our recorded
5 record and we get often heightened sea levels, big
6 storms. And when they coincide with high tides then we
7 have, of course the ingredients for a lot of impacts.

8 Looking forward as mean sea level rises in
9 the future the number of extreme events, the number of
10 very high level sea episodes can be expected to cascade
11 and we'll hear more about that later, so I won't
12 belittle that.

13 I want to move ahead and talk about heat
14 waves, because of its very strong bearing on electrical
15 demand and also supply. This is a takeoff of David's
16 remarks just a couple of minutes ago. Of course,
17 there's very broad-ranging effects not only on the
18 energy sector, but on human health, ecosystems and
19 really across the board in various ways in California.

20 This is a portrait of heat waves that we've
21 seen in the historical past going back to about World
22 War II in California and this has been compiled by our
23 colleague Sasha Gershunov at Scripps. The colored
24 lines here represent essentially two flavors of heat
25 waves. Heat waves, which are accentuated during

1 daytime hours, so they have very extreme heat during
2 the day and the blue lines here are heat waves, which
3 are accentuated during nighttime hours. That is they
4 have very anomalous warm temperatures at night. In
5 other words it's not cooling off.

6 And what we see here is that by and large, of
7 course these are fairly rare events, but when you look
8 across this 60-or-so year record the daytime heat waves
9 are happening, I would say, at a pace that really
10 doesn't change too much over time. But the unusual
11 thing that we've noticed is that over the last couple
12 of decades there's been a real surge in events that
13 have very pronounced nighttime extremes.

14 The two bars that you see here that are
15 really impressive by this metric that Sasha invented,
16 which has a spatial and an intensity component, these
17 two events here are 2003 and 2006 no doubt familiar to
18 many of you. Back earlier we have very large events in
19 the early 70s and also the early 60s where the events
20 were really flavored towards daytime conditions. So
21 this, of course, could be natural variability, but on
22 the other hand it may be something that bears watching.

23 It's interesting that globally essentially
24 nighttime temperatures have shown the greatest increase
25 as opposed to daytime temperatures. Of course, we all

1 know that the earth has been warming, but thus far it's
2 been accentuated at night and it seems to be perhaps a
3 symptom of this.

4 The other thing that bears mentioning about
5 the historical incidents of heat waves is that when we
6 get warm temperatures here in California we tend to get
7 very warm temperatures along the entire West Coast,
8 that's the red dots. And interestingly, often times of
9 course this is an atmospheric circulation-driven
10 phenomena. That's the portrait here in the bottom.
11 And going along with that there tends to be higher than
12 normal pressures here over the west and downstream over
13 the east, what we're essentially baking. We might look
14 for this, this weekend. They are relatively cool.

15 Well looking toward the future this is an
16 ensemble of climate simulations. The simulations are
17 essentially integrated forward in time, but also done
18 retrospectively. They're driven by greenhouse gases,
19 volcanic loadings and so forth. These are global
20 climate models. In this case there's a little more
21 than a dozen climate models here. What we've done here
22 is we've essentially smoothed out some of the
23 variability.

24 There's three different greenhouse gas
25 emission scenarios portrayed here by the blue, brown

1 and red lines going forward. And of course, the red
2 line is the higher so-called RCP 8.5. That means 8.5
3 watts per square meter out of energy balance by 2100,
4 so that's the way we're classifying emission scenarios
5 these days in the climate modeling community.

6 And then of course, the lowest trace there is
7 the scenario that has the lowest amount of emissions.
8 Of course, right now we're not really adhering to that
9 lower scenario. We're more into taking this higher
10 pathway, but you can see here that temperatures no
11 matter which emission scenario are bound to rise as
12 time goes forward in our future here in California.

13 This is a location that's extracted over
14 Sacramento. This is the July temperature and the
15 envelope here goes from approximately two and a half
16 Fahrenheit to about nine Fahrenheit as a median amount
17 of change. There's of course, still a great amount of
18 inter-annual variability. There's natural climate
19 variability that'll make some years cooler, some years
20 warmer and so on. But there's this inexorable change
21 towards warmer conditions as we go forward. The other
22 thing to point out here is that warming is already
23 begun and we are committed to further warming as time
24 goes forward.

25 Suzanne, are you giving me the evil eye

1 already?

2 MS. KORESEC: (Inaudible)

3 MR. CAYAN: Okay, thank you.

4 Okay, so another point to be made is the
5 recent generation of climate simulations. Again, here
6 there is about a dozen of them.

7 This is the higher emission scenario, RCP
8 8.5, lower scenario 4.5. They're both expressing
9 greater warming in the summertime than the wintertime.
10 This is warming by the end of the century referenced to
11 today's climatology. It's an incremental effect, but
12 of course warming that adds to our summer heat of
13 course is going to be something that is a challenge and
14 is going to confront a lot of the systems, natural and
15 human, in the state.

16 This is our census of heat waves. Time goes
17 up here from 1950 through 2100 and the season goes
18 across here from May through September. Each one of
19 these little measles spots is a heat wave. Just to
20 help you orient here, here's a time series of those
21 heat waves going forward in time. There's actually on
22 this plot here at the bottom there's two different
23 emission scenarios. There's only one shown here on
24 this spot chart, that's the RCP 8.5.

25 This is from a French general circulation

1 climate model that happens to do quite well in
2 replicating climate in the west and that's why we
3 selected this one. But what you can see here is that
4 compared to the historical era heat waves become more
5 intense. The intensity scale is shown here at the
6 bottom and of course, more frequent. And the heat wave
7 season broadens as we go forward in time. That is heat
8 waves are starting to occur earlier and also later in
9 the season, so we're going to have more events and a
10 longer season to contend with.

11 Interestingly, the eye of course picks out
12 this spectacular region towards the top of the chart,
13 but if we look at the numbers by the 2020s, 2030s we
14 are doubling the number of heat waves that we are
15 seeing, we have seen historically. So this is not a
16 long-term future behavior entirely. This is something
17 that is happening and will happen increasingly as time
18 goes forward.

19 So just to give you a sense of how things are
20 changing in terms of a heat wave count same model just
21 portrayed differently. This is just a little bar
22 graph. This is the historical 30 years from 1961
23 through 1990 made out from that model and at the bottom
24 here what we've done is we have categorized each heat
25 wave by its duration. So number of days, of course

1 historically the one-day spells occurred more often and
2 there's this sort of mean tail in the distribution when
3 you get, of course, long heat waves. That Bob
4 mentioned this is his question to Dave about the three-
5 day heat waves. Those long ones of course, have great
6 impact.

7 Let's look at what happens going forward in
8 30-year slices, so this is '05 through '34 in this
9 climate model simulation. Notice here now that the
10 two-day spells are the category that occurs most
11 strongly and the tail is getting thicker as we go
12 forward. This is the middle part of the century.
13 Again, the two-day spells becomes even more, but of
14 course there's just getting to be more heat waves and
15 there's getting to be more that have this long
16 duration. And finally end of the century of course,
17 the population of heat waves really explodes and we're
18 starting to see heat waves out here at the ten days and
19 longer sort of category.

20 So now, rather than relying on just a single
21 model what I've done is I put together a dozen models
22 and shown you again at the bottom this is the number of
23 heat waves, this is the same sort of time slicing as
24 before. The temperature now is shown, so this is
25 intensity on the Xes and each spot each is a heat wave

1 that occurred.

2 So here's what happened in a collection of a
3 dozen climate models in the historical period. Here's
4 the first 30 years, note the color change. Pretty soon
5 the green dots are going to sort of go tannish, because
6 we're imprinting them with what happens going forward.
7 And you can see here just the explosion of the number
8 of what we would call today heat waves and some very
9 long ones as we go out in time.

10 One more, finally one more slice at heat
11 waves, this gets to David's point about the greatest
12 event that we saw, David showed it, in 20 years. I'm
13 showing here in the blue line the greatest event that
14 occurred in 50 years of historical records here in
15 Sacramento. And then the green traces are what
16 happened in each year.

17 This is the hottest day of each year between
18 '01 and 2010 from a climate simulation compared to this
19 50-year greatest event shown in blue. And what I'm
20 showing here is the diurnal cycle, the hourly
21 temperature data from early morning through mid-
22 afternoon and then back to early morning again. And
23 I've sort of concocted this. It's a little bit
24 fictitious the way that's done, but it serves as an
25 illustration.

1 And I just want to take you through the
2 decades showing how essentially the daily profile of
3 temperature behaves decade by decade, so each one of
4 these traces is a decade. Notice here that in the 2011
5 to 2020, there's only one event that eclipses the one,
6 the greatest one, in 50 years.

7 But now here's the next decade, there's three
8 events if you look closely, that are greater than that
9 one. And of course, the way I've constructed it they
10 all have essentially the same profile, so don't pay too
11 much attention to that. But what I do want you to pay
12 attention to is the length of time of the day where
13 temperatures exceed 40 degrees Celsius, which is 104
14 Fahrenheit.

15 So the thing about these very hot days is
16 what they do, is they expose us to warmer temperatures
17 for a longer period of the day. And now you can see as
18 time goes on the width of this very intense heat
19 increasing over time. So here's the end of the century
20 and virtually every warmest day of that decade is
21 greater than the warmest one that we saw in 50 years of
22 record there.

23 So I have conclusions, but I just got a kick
24 and so I won't go through those. So maybe it's okay to
25 entertain questions. Is that okay? All right, thanks.

1 CHAIRMAN WEISENMILLER: So a couple of
2 questions. So one, we've looked at temperature and
3 precipitation. Do you have a sense also of wind
4 patterns?

5 MR. CAYAN: Wind is more problematic. The
6 climate simulations are calculated over pretty course
7 scales. And to downscale winds to the texture and
8 aerographic setting here in California has been done
9 for numerical model simulations that are fairly
10 specialized, but has not been done over a large
11 ensemble of climate simulations. It turns out that
12 those specific simulations are, I would say, still
13 being digested and there's not an enormous signature to
14 look at.

15 So you might wonder, for example, whether
16 wind energy is going to be affected by climate change
17 in California. And I think the answer to that question
18 is that we're not sure at this point, so that's work
19 that needs to carry forward.

20 CHAIRMAN WEISENMILLER: The other thing I was
21 thinking of is certainly when you look at the winter
22 storms, winter storms in terms of the increasing
23 frequency effect, say PG&E as they try to deal with
24 storms hitting their system. And at the same time
25 Edison has been surprised recently by a really bad

1 windstorm. So part of the question is how much do we
2 have to worry about increasing wind storms over time?
3 And realizing, again you don't have the model for that,
4 but anyway I was looking more at that sort of impact.

5 MR. CAYAN: Okay, understand. So in general
6 I would say that today if I had to bet I would say that
7 the frequency of winter storms is perhaps going to
8 diminish just a bit in California, the storm track, by
9 I guess a rough consensus of the models is shifting
10 pole-ward. But that's not to say that there won't be
11 some intense storms amongst the ones that do occur, so
12 we will still have those ingredients of big flooding
13 events for example.

14 Wind storms per se, I don't know really what
15 the answer is to that one. I think that bears looking
16 at and I would guess the signal is going to be fuzzy
17 amongst these models.

18 CHAIRMAN WEISENMILLER: I guess the other way
19 to look at it is I know we've talked a lot about the
20 temperature changes for Sacramento. And so part of the
21 question is, is the coastal region going to see the
22 same level of impacts?

23 MR. CAYAN: You know, it's going to be
24 scaled. Actually the amount of warming, what the
25 models suggest is the warming will be greater in the

1 interior or California than it will along the immediate
2 coastal area, which is affected by the marine layer.

3 The ocean temperatures are going to
4 essentially insulate to some extent, because the ocean
5 is absorbing heat over a thick, mixed layer. And we
6 think that warming will be less right along the coast
7 than it is say in the central valley. But the details
8 of how that's going to penetrate and whether the
9 traditional areas: the Delta breeze and some of our
10 interior valleys that enjoy a sea breeze are going to
11 maintain, perhaps being intensified and so forth, again
12 that's work in progress.

13 CHAIRMAN WEISENMILLER: Okay, now you had
14 noted in terms of the climate warmings there's sort of
15 the summer warming higher than the winter, interior
16 warming greater than coastal, and nighttime warming
17 exceeding those four points. So at this point does the
18 evidence point us in that direction with (inaudible) --

19 MR. CAYAN: Certainly, the evidence for
20 nighttime warming is actually based, it's predicated on
21 observations, not so much models. Very few of the
22 models show this asymmetry in night versus day. They
23 actually are pretty symmetric, but observations are
24 pointing to essentially a greater greenhouse effect or
25 perhaps the greater effect of moistening that's

1 increasing nighttime temperatures.

2 The interior warming argument I think is one
3 that is coupled with the land surface, and that the
4 argument goes that because we're drying continental
5 areas more intensely with warmer summers we're using
6 more of the heat in sensible rather than latent in
7 heating, because there's no moisture left and
8 temperatures are getting warmer. So I think that's
9 quite sound and so we can probably look forward to that
10 occurring. We see that naturally over the Great Plains
11 today, so we know that mechanism operates.

12 CHAIRMAN WEISENMILLER: Yeah, one of the ways
13 that this could affect the energy system is that we're
14 looking at more ED vehicles and people doing charging
15 at night, that will obviously affect how much the
16 transformers are allowed to cool off. So if we have
17 more loading on the transformers at night and higher
18 temperatures both, that's going to affect the
19 reliability.

20 MR. CAYAN: Yeah.

21 CHAIRMAN WEISENMILLER: Okay, I think that's
22 all I have.

23 MS. KORESEC: Do we have any questions from
24 the audience? All right, we have no questions online,
25 so Dan you did such a fabulous job we're going to let

1 you give the next presentation. Okay, great.

2 MR. CAYAN: Thanks, Suzanne. This is a talk
3 that actually Josh Willis, our colleague from JPL NASA
4 Laboratory in Pasadena put together. Josh
5 unfortunately, was doubly-committed today, so he asked
6 me if I would present his talk.

7 And just as a backdrop Josh's talk is largely
8 about global sea level with of course, implications on
9 California. And I've done some work on sea-level rise
10 with more of a regional flavor, so I've added some
11 slides at the end. If I get a chance before I get the
12 hook, we'll look at some of those.

13 So these are -- Josh's slides are really
14 oriented around the immense problem that's posed by
15 this huge storehouse of water that exists in the ice
16 sheets in Antarctica and Greenland that is essentially
17 the big source of uncertainty for sea-level rise in the
18 global future. There is 70 meters or so of sea-level
19 rise to be had if you liberated all of that water
20 that's stored in those two ice sheets. Don't worry, 70
21 meters is not going to happen. It's been argued that
22 it will be hard to achieve two meters by 2100.

23 But just to put this into context we have
24 seen globally over the last century something like 20
25 centimeters or so of, in other words two-tenths of a

1 meter. So a round number that I like to think of is
2 two millimeters of sea-level rise per year has been
3 about the historical rate. Now two millimeters is
4 almost, you know, it's a little more than the width of
5 your fingernail, but it accumulates and this is a 24/7
6 kind of thing. And it turns out that as Josh's story
7 tells, this has been increasing if we look over the
8 last 20 years or so.

9 Here, Josh is making the point that of course
10 the reason that we have this threat looming is that we
11 have warming temperatures globally. This chart shows
12 temperatures going back to 1880 or so and temperatures
13 have risen here something on the neighborhood of a
14 degree and a half Fahrenheit when you average together
15 the global surface temperature since then. And he
16 makes the association here why are temperatures
17 warming?

18 Well, this is the Paleo-CO2 record that's
19 been collected from CO2 that's been captured in bubbles
20 in ice at the poles. And what we can see from that
21 compared to the more modern record where we're actually
22 measuring CO2 directly in the atmosphere is that we
23 have, since industrialization eclipsed the natural
24 variability of the system on these 100,000 year time
25 scales.

1 And now very recently you probably read the
2 headline that we've broken the 400 parts per million in
3 CO2. There's been a lot of debate about what is the
4 dangerous level that humanity will have to contend with
5 and there's some that would say that 350 parts per
6 million is the dangerous level. There's others that
7 have different definitions, but just suffice it to say
8 that the scenarios for greenhouse gas projections would
9 have us very likely doubling the pre-industrial CO2
10 concentration by the end of the century.

11 And if we're unlucky, if we continue to take
12 this higher-end trajectory we will have triple the CO2
13 levels by the end of the century. That is an excess of
14 900 parts per million by the 2100 point.

15 This is a proxy record for sea level that's
16 been constructed from sediments and various evidences
17 in the sediments from North Carolina. And of course
18 there's uncertainty here and so forth, but what Josh's
19 point is, is the very rapid rise of sea-level rise once
20 you get to the modern area. This goes back 2,000 years
21 or so and so the evidence, this is only one location of
22 course, but it's emblematic of global sea levels
23 probably.

24 This now is the record that's collected from
25 a collection of tie gages across the globe going back

1 to 1860. You should know that in 1860 there was only a
2 few handful of tie gages, probably about 30 of them.
3 The number grows in time; there's been mathematical
4 ways of using that information and trying to intuit the
5 global sea level over that period. And it is reckoned
6 that over this era we've seen -- well that's my number,
7 20 centimeters. So Josh has 20 centimeters happening
8 in 140 years, I said in a 100 years or so, but it's the
9 same order of magnitude.

10 The other thing to be made from this record
11 is that when you look at it in pieces there's this
12 disquieting increase in the slope, the rate of rise
13 over the last couple of decades. So the two millimeter
14 approximately number has increased to about three
15 millimeters per year. And interestingly, and he tells
16 us here how much this equates to in terms of water.

17 So the reason the oceans are rising is
18 essentially two different mechanisms. One is they're
19 rising, because of steric influences. The density of
20 water is diminishing, so as it's warming it's occupying
21 more volume so just thermal expansion. And the other
22 reason of course, is we're melting ice on earth and
23 you've all seen headlines of vanishing ice stocks in
24 high-altitude glaciers and so forth.

25 San Francisco, and this is Josh's trace,

1 actually has a sea-level rise rate that is very similar
2 to the estimated global rate. And interestingly, while
3 I would say ten or fifteen years ago it would have been
4 said that thermal expansion was dominating the amount
5 of sea-level rise the balance has shifted. So recently
6 the ice melt component to sea-level rise has become as
7 important and according to Josh it's more important
8 than thermal expansion in recent years.

9 So there's another way now to measure sea-
10 level rise and that's with very high-precision
11 altimeters that are born on spacecraft. There's been
12 three different spacecraft over the period since the
13 early 1990s, the U.S. and also French spacecraft that
14 have been sewn together here.

15 And you can see the record going back to 1993
16 or so through nearly present here. You can actually
17 see a annual cycle in sea-level rise. That's because
18 essentially the continents breathe in water in part of
19 the year and then they release it in another part of
20 the year. And actually the ocean levels reflect that.

21 It's a pretty interesting record, but that's
22 relatively minor compared to this rise, which
23 interestingly from a totally independent record that is
24 measuring the altitude of the ocean's relative to the
25 center of mass of the earth, the rate of rise is just

1 about the same as what we see from tie gages. And when
2 we look to the future here's where we are now, here's
3 where we could be. There's a big envelope of
4 uncertainty here going forward and essentially the
5 take-home point of Josh's talk is why there is so much
6 uncertainty is the uncertainty in the melting of
7 Greenland and Antarctica.

8 By the way the altimetric record, that's the
9 green one here, is compared to the tie gage record.
10 That's the blue one here. So you can see the
11 correspondence between the two. This is looking
12 forward and this is actually looking forward to the
13 year 2300 using climate model simulations.

14 The take-home point is here that from thermal
15 expansion we can probably expect another two-tenths to
16 three-tenths of a meter. Twenty centimeters is about
17 eight inches, so eight to twelve inches or so from
18 thermal expansion by 2100. But if you noticed these
19 curves here, they are approaching a meter and the top
20 one is actually approaching two meters and the reason
21 for that is the potential for enormous amounts of
22 volume added to the ocean from ice.

23 Now I'd like to change gears really quickly
24 and say something about California sea level problems.
25 And our problems, at least in the next 50 years or so

1 are going to be largely, because we have big storms
2 coinciding with high tides. And of course, that's
3 going to be slowly aggravated as mean sea level rises,
4 so again this is scene from actually Monterey Bay
5 during the 27th of January 1983 where in many locations
6 along the West Coast the highest sea levels were
7 recorded and that record stands still today. And
8 interestingly of course, the ocean wasn't like a lake
9 at that point. It was more like a washing machine, so
10 we had essentially took out all of the vulnerable
11 structures along the West Coast at that point and time.

12 The other thing even though I don't have a
13 slide to show, is that we have not only an exposure to
14 the open coast in California because of sea level and
15 storm problems. We also have the Bay Delta, which is a
16 locus of essentially the plumbing system for the
17 California water conveyance as well as a lot of
18 infrastructure, some of which is electrical and
19 transportation and so forth. And I think we're going
20 to hear from our colleagues from Berkeley who are going
21 to talk about some of the transportation aspects.

22 This is a record of big sea level events
23 historically going back to 1950 in San Francisco. And
24 this is that winter, 1982-83 when we had the total
25 number of exceedance hours by my measure here, which is

1 essentially exceeding the one in fourteen months level
2 of exceedance in an hourly basis. And what you notice
3 here is that those things don't happen every year, they
4 tend to happen episodically and they happen big time in
5 1983 and also in 1997-98, the other very large El Nino
6 in our recent record.

7 Interestingly one thing that you should know
8 is that sea-level rise since 1998 has essentially been
9 non-existent. We've been flat here along the West
10 Coast. This is a picture from the altimetric record
11 showing the amount of sea-level rise across the global
12 ocean. And if anything we've actually been a little
13 negative since that early 1990s period when we had
14 altimeters.

15 But what you see is this really excessive
16 rates, in some cases approaching ten millimeters per
17 year in the Western Pacific. This is thought to a
18 wind-driven ocean circulation phenomena and part of the
19 natural variability of the Pacific Ocean. And of
20 course, one of the \$64,000 questions is when that low
21 frequency change is going to reverse and we will resume
22 sea-level rise here along the West Coast.

23 There was an NRC, National Research Council
24 committee that studied sea-level rise along Washington,
25 Oregon and California. I was part of that committee

1 and they were charged, we were charged with looking at
2 sea-level rise along the coast. This is sort of a
3 take-home message. The committee's envelope of sea-
4 level rise again was quite broad, but if you sort of
5 chose a midpoint for California sea-level rise it's
6 looking like about a meter by 2100.

7 This is south of Cape Mendocino. There's
8 some tectonics that get involved. And so north of
9 Mendocino sea-level rise will not be that large in a
10 relative sense, because land is uplifting there.
11 Interestingly if you look at previous estimates of sea-
12 level rise they were down here.

13 Now we've really broadened the envelope and
14 the envelope is getting broader at the higher end. I
15 don't think I'm going to go into this, because it's a
16 little busy and I'm sort of running out of time. I
17 already mentioned this in the previous talk where if
18 you look at the number of extremes and essentially just
19 count the number of hours greater than X or X is a
20 fairly high threshold, you start to see the number of
21 extremes cascading as we go forward in time. And of
22 course, that's going to create lots and lots of
23 problems again, not only along the open coast but in
24 the Bay Delta.

25 So in summary warming is already occurring.

1 Well, we're committed to further warming. The two
2 millimeters per year that we've seen historically is
3 going to very likely increase by double, triple,
4 perhaps even more. Ice melt is going to be the
5 dominant influence probably, but there's a large
6 uncertainty. It's not well-modeled and well-understood
7 at this point.

8 Along the West Coast we've not seen sea level
9 rise since the late '90s and we're waiting expectantly
10 to see what happens and the big problem's when we have
11 large storms.

12 I guess the final thing that I would note is
13 that this is really not a climate phenomena, but we
14 have evidence from sedimentary record of once every two
15 to seven-hundred years very large events here along the
16 Cascadian earthquake fault where sea-level rise
17 underwent one to two meters of change in 20 seconds.
18 And of course, if that happens all bets are off and
19 that will have enormous consequence. It's something
20 that we have to be aware of. I'm not predicting, it's
21 just it's happened many times before and it could
22 happen again. So I think that's probably where I
23 should stop.

24 CHAIRMAN WEISENMILLER: So how does the -- as
25 the sea gets warmer how does that interact with the

1 acidification of the oceans in terms of speeding up
2 reactions and all?

3 MR. CAYAN: I should be a chemist. Well, I
4 think if I am -- you know, this is bordering on kind of
5 BSing, but I think that the rate of dissolution of CO₂
6 in seawater becomes greater, that is it expels CO₂, as
7 water gets warmer. So if the ocean sank it may become
8 a little less, but I think in order to really calculate
9 that you'd probably need to know about bugs and
10 plankton and stuff, because those probably have at
11 least as much if not more than just sort of the inert
12 water.

13 So maybe you need another expert to really
14 talk about that, but over time of course I think the
15 balance is that the acidification is most strongly
16 driven by just the fact that there's this big gradient
17 now in CO₂ in the atmosphere versus the ocean. So the
18 ocean in general is going to be uptaking CO₂ and it's
19 becoming more acidic. That's verified, that's
20 happening and of course, there's consequences in the
21 calcareous shales and all sorts of food chain ideas.
22 So I would say the water temperature part of that is
23 probably the minor part of the argument, anyway.

24 MS. KORESEC: Do we have any questions? Oh
25 yeah, please come to the mic and give your name.

1 MR. CAYAN: He's a biologist, he might be
2 able to say something about it.

3 STEVEN SCHWARTZBACH: Don't hold that against
4 me, Steve Schwartzbach, USGS. Can you put up the first
5 slide again of the second talk?

6 MR. CAYAN: I take it you didn't want the
7 introductory slide, you wanted the --

8 STEVEN SCHWARTZBACH: That's this slide,
9 yeah.

10 MR. CAYAN: Yeah.

11 STEVEN SCHWARTZBACH: Could you address the
12 2000 to 2010 period there and what's going on? If you
13 look at the second slide after this with CO2 it's a
14 straight line up it looks like. And very different
15 scales of course, but...

16 MR. CAYAN: It's very different scales. Well
17 there is natural variability in the system and of
18 course, the climate skeptics are always pointing at
19 what happened last year in temperature. "My
20 thermometer went down, what are you talking about?" So
21 it's misleading to make too much out of really short
22 spans of time and try to attribute them to global
23 warming.

24 We know that -- let me go to another slide,
25 Steve. Well, no I can't. It's in the previous talk

1 and it's too difficult, but if you remember the
2 temperature projections even in the models, which had
3 this in general when you looked at the median -- that's
4 okay Suzanne, you don't have to do that. They have
5 really impressive inter-annual decadal variability just
6 like we have in our historical record. And there's no
7 reason why we should expect not.

8 Okay, so all these spaghetti, you know, each
9 one of those is a model and those models are monitoring
10 all over the place. For example, that's what we're
11 seeing in nature, so what we're seeing is the climate
12 system in its full regalia. And, you know, we should
13 not expect just to see monotonic warming year after
14 year after year.

15 But what we can say is that when we look back
16 at the temperatures either globally or northern
17 hemisphere or the United States, and of course you know
18 people have done that, virtually all of the warmest
19 temperatures have occurred within the last 20 years of
20 record. So yeah, there's going to be wiggles, but I
21 don't think you want to make a prediction that, "Okay,
22 the temperature is going down now, we can call this
23 off."

24 Because, you know, our diet for fossil fuel
25 energy is unquenched and it is increasing and we're

1 seeing that. You know, the writing is on the wall.
2 Even if we were to shut off CO2 emissions today, put
3 them back at natural levels, we are committed probably
4 to another half a degree to a degree Celsius. That's
5 approaching two degrees Fahrenheit, because the earth
6 is not equilibrated to the loading that we've put in
7 the atmosphere.

8 MS. KORESEC: Any other questions, yeah?

9 MR. DUVAIR: Hi Dan, Pierre DuVair, Energy
10 Commissioner, just a quick question on that 15-year
11 hiatus from sea-level rise since 1988, have both the
12 two components been monotonically increasing the
13 thermal expansion and the ice melt the last 15 years.
14 And then what kind of explanations do we have for no
15 increase since '98?

16 MR. CAYAN: Well, the no increases from '98
17 again is a regional no increase, right? So largely
18 what that is, is that's ocean dynamics, kind of
19 rearranging the bathtub, okay? And you saw the Pacific
20 Basin, you know, there's islands in the Western Pacific
21 that are really in trouble, because they've had three
22 times the rate of global sea-level rise over this
23 period. And they're really concerned and there's a
24 film about, you know, somewhere there's a mountain or
25 something like that, that speaks to that.

1 But as far as what's happened, so this gets a
2 little detailed, but there's a set now of the ocean is
3 being probed vertically with a set of floats. So the
4 ocean now is populated with what are called argo
5 floats. And from those we know that the ocean has been
6 sequestering heat.

7 David Pierce back there has done some of the
8 real pioneering work on understanding the signature of
9 climate warming in the global oceans. And we know that
10 70 to 80 percent I think of the global energy imbalance
11 has been taken up in relatively, I won't say it's
12 imperceptible, but to most people except for Dave
13 Pierce it's been imperceptible. It's distributed
14 across the first thousand plus feet of ocean
15 temperatures and Dave will correct me here.

16 But and so thermal expansion has largely --
17 you know, if you integrate it over this entire 50-year
18 time spell or whatever you're thinking of, a big piece
19 of it would be thermal expansion. A smaller piece
20 would be ice melt. Over the last ten years or so
21 thermal expansion is probably like it always was, but
22 ice melt now is like that. So by Josh's reckoning 60
23 percent or so of sea-level rise in the last 20 years
24 has been ice melt. And you've seen reports of
25 Greenland melting more than it was before and so on and

1 so forth. Antarctica is contributing as well, okay.

2 MS. KORESEC: All right, we're going to move
3 on now to stay on schedule. Our next speaker is Garth
4 Hopkins.

5 MR. HOPKINS: Hi, my name is Garth Hopkins.
6 I'm with Caltrans in our headquarters division of
7 Transportation Planning here. And we're going to shift
8 gears a little bit. We've been talking a lot about
9 data and now we'll be talking about kind of what
10 Caltrans an organization is doing to address climate
11 change issues.

12 First to put a little context on things, just
13 kind of wanted to give you an overview of California's
14 transportation system. I always think that that
15 number's kind of interesting. Here we've got, what 38
16 million population and we've got about 32 million cars
17 or registered vehicles in the state. But there's some
18 data I'll be relaying to you, to climate change, that
19 has an impact on climate change of course.

20 Also I think it's always important to note
21 that, you know, transportation at least in California
22 contributes 37 percent of the overall greenhouse gas
23 emissions, which is the largest percentage of any of
24 the sectors in the state.

25 Just a real quick overview of Caltrans; we've

1 got, you know, about a \$12 million budget.
2 Unfortunately that's not enough to cover all the
3 transportation issues that we here in the state face.
4 We also own and operate the state highway system and
5 we've got a little over 19,000, used to be 23,000 at
6 time so we're getting smaller, employees statewide.
7 And we have 12 district offices around the state and we
8 operate a little over 12,000 pieces of equipment in a
9 little over 7,000 cars and light trucks and about 1,800
10 medium heavy-duty trucks and the remainder is
11 specialized equipment. All that equipment is estimated
12 to produce a little over 190,000 tons of CO2 emissions
13 from those operations.

14 And Caltrans, as I said earlier as an
15 organization we have 12 district offices, and so I'm
16 from headquarters here in Sacramento. But we have 12
17 district offices around the state and those are kind of
18 just a real quick overview where those offices,
19 district offices are located. And now on to kind of
20 what are we doing as an organization to address the
21 mitigation efforts and, you know, why are we doing it?

22 Well, first of all I think all of us know
23 we have -- you know, we're legislatively required here
24 in California to do so. And speaking from the State
25 Department of Transportation or DOT perspective there's

1 not many other states that have a legislative
2 requirement to address greenhouse gas emissions.

3 And in discussions with some of my
4 counterparts elsewhere around the country I think as we
5 all know, climate change is kind of a political issue
6 in some respects. And some of my counterparts in the
7 other state DOTs they're not even addressing climate
8 change whereas I think in California, and particularly
9 we've been working with our counterparts in state DOTs
10 in Oregon and Washington, and I'd like to say we're a
11 little more progressive than some of the other state
12 DOTs around the country. But we also have Governor's
13 executive orders that not just impact just Caltrans,
14 but other state agencies that carry weight as well with
15 other state agencies.

16 We have two documents that I'm just going to
17 be speaking about real, real quickly that were just
18 released, I mean within the last month or so. And the
19 first one is what Caltrans has done as an organization
20 to reduce its overall greenhouse gas emissions. And
21 that document is available on our website and was just
22 released last month as a matter of fact. The report
23 itself addresses these several factors, you know, as
24 Caltrans as an organization.

25 Like I say we're a large organization, but

1 it's broken down by what we can do or have done to
2 address greenhouse gas emissions reductions from a
3 planning and environmental perspective. And when I say
4 from planning, you know, transportation systems or the
5 environmental side of the environmental impact
6 documents and whatnot, also materials, concrete and our
7 maintenance and operations. You know, it's the guys
8 driving around. It used to be the orange trucks, but
9 now it's the white trucks with the white stripes that
10 maintain the highway system throughout the state.

11 Also our facilities administration, you know,
12 as I said we've got 12 district offices around the
13 state. So we do have large office complexes and we've
14 done a lot to make those a little greener.

15 And so, you know, this is kind of from a
16 planning and environmental perspective. These are some
17 of the documents, the planning documents that we at
18 Caltrans are relying on to do our various planning
19 requirements. And then also they are starting more and
20 more to address greenhouse and climate change issues as
21 well, which is the right thing to do of course.

22 The largest reductions that we've seen in
23 greenhouse gas submissions over the course of the past
24 few years has come from using new materials in our
25 construction activities, primarily on the concrete side

1 of the house. And this is something also I want to
2 touch on that we're going to start looking more and
3 more into is the rolling friction reduction of various
4 pavements to achieve both reductions in fuel
5 consumption, but then also in climate change.

6 You reduce fuel consumed you're going to
7 reduce the greenhouse gas emissions from the
8 transportation sector and I think that's something that
9 we're interested in and we want to push elsewhere and
10 see what kind of benefits or would-be cumulative
11 benefits there would be statewide to having lower
12 friction pavements utilized.

13 On our maintenance and operation side
14 Caltrans is one of the, or the largest single consumer
15 of biodiesel in the state. And those are some of the
16 numbers in terms of the use of alternative fuels and
17 the percentage of CO2 GHG reductions achieved. And
18 then also on LED lights, this is a second on the energy
19 side of the house.

20 You know, I think one of the largest
21 percentages or the second-largest percentage received
22 after the concrete materials was energy reductions
23 through the use of LED lights and around the state.
24 And also, you know, the traffic signals as well. And
25 so, you know, we really achieved a huge reduction in

1 energy usage from the highway signals around the state
2 and the traffic lights and the lighting systems.

3 On the side of our facilities administration
4 side, you know, we've got three buildings in our
5 district offices. And these are large office building
6 for hundreds of people that are LED or are lead
7 certified should I say, that have been constructed in
8 the last ten years or less and so that's something that
9 we're really quite proud of. And we also have a fair
10 amount of employees and we walk the talk in terms of
11 trying to get people out of our cars, single-occupant
12 vehicles and on to mass-transit, bike and walking.

13 Kind of shift gears in terms of what we've
14 done to mitigate, but now what are we doing to plan for
15 adapting to our changing climate as a transportation
16 agency? And the three major impacts that I think we'll
17 be seeing on the transportation side of the house are
18 the sea-level rise and of course, you know, how it's
19 going to impact transportation is in increased flooding
20 and the washouts and damage to the substructure beneath
21 the roadway and as a result of that flooding event due
22 to sea-level rise.

23 Also in intense weather events, you know,
24 what kind of impacts is the increased and intense
25 rainfall going to have on transportation is something

1 that we need to start planning more and more for,
2 because we are going to have more flooding. And the
3 resultant landslides and the bridge scours as well due
4 to erosion under our bridges, structures and whatnot.
5 And then lastly higher temperatures can have an impact
6 on pavement buckling and rutting and thermal expansion
7 on the bridge joints as well, you know.

8 And also changes in vegetation, because
9 Caltrans does maintain a significant amount of
10 landscaping around the state and our landscape
11 architecture folks are having to look and see what kind
12 of vegetation and reduce water needs or for the
13 irrigation of those vegetation as well. And we're also
14 going to have the landslides and the wildfires as a
15 result of the higher temperatures and the forest fires
16 as well.

17 In terms of Caltrans participation from state
18 government I have to tell you I've been in
19 transportation planning for over 20 years now. And
20 climate change from the state government perspective I
21 think, in my opinion at least, has been one of the most
22 dominating kind of issues if you will that -- multiple
23 state governments, because each of us from a state
24 government perspective, you know, we all have our own
25 charges. And we've all been able to rally around

1 climate change in terms of addressing that from
2 multiple state governments and also at the federal and
3 the local perspective as well.

4 You know, we've also been involved nationally
5 with the National Association of State Highway
6 Officials and then also Federal Highway Administration
7 has been very active on climate change issues and how
8 it's going to impact transportation. We also work with
9 our local and regional partners. There's a number of
10 regional transportation agencies around the state that
11 do planning as well, so we work with those folks not
12 just on the highway side of the house, but local
13 streets and roads, railroads, aviation as well.

14 And the second document I was going to touch
15 on real quick is something we released several months
16 ago and it was to help provide guidance to regional
17 transportation planning agencies, either metropolitan
18 planning organizations or our regional transportation
19 planning agencies on how to address climate change in
20 their long-range transportation plans also known as
21 regional transportation plans.

22 These regional transportation plans look out
23 20 years for a specific region or county in terms of
24 what are the transportation needs in that particular
25 area. And we feel it's very important that these

1 regions start looking at climate change impacts to the
2 transportation system. And so the purpose of this
3 document was to help provide information to these MPOs
4 and RTPAs as I just said around the state, if they so
5 choose to look at climate change adaptation. There's
6 no legislative requirement for them to do so at this
7 time, but from a planning perspective it just makes
8 planning sense to do so.

9 In terms of future directions for Caltrans
10 and other state agencies, and this is just kind of my
11 two cents, I think it's important to continue the
12 climate change dialogue as I said, you know, I think at
13 the state government level and at all the various forms
14 of government. At least it's been my experience. I
15 think that's moving ahead pretty well. We need, the
16 thing that we do need to work on I think is coming up
17 with some of the common assumptions of climate change
18 impacts.

19 And I know what Dr. Canyon's working on and
20 we had the National Academy of Science or the NRC
21 report that came out, what last summer? We had a hope
22 that that would help clarify and narrow the assumptions
23 such as sea-level rise, but I know it's a very -- and
24 the science I guess, is not that exact right now.

25 But from an infrastructure standpoint it's

1 difficult for our engineers to design future
2 transportation structures to accommodate for example,
3 sea-level rise or in increased precipitation rates if
4 we don't know a little bit more, you know maybe
5 refined, what are the higher levels that we need to
6 design for. And also from a regulatory standpoint
7 Caltrans gets permits from certain agencies such as the
8 Coastal Commission to build our transportation
9 projects.

10 And we all have to be on the same page, so to
11 speak. And if we're not on the same then it's
12 difficult for us and it's difficult for the affirming
13 agencies as well.

14 Also from the Caltrans standpoint we're going
15 to be continuing working statewide with our Caltrans
16 staff to communicate climate change issues. This is
17 just one more issue in the whole host of things that
18 our staff statewide needs to concern themselves with,
19 but we want to make sure that we are planning and
20 preparing for climate change as best possible in
21 addition to other issues that we have to deal with on a
22 day-to-day basis.

23 We will be developing further policies and
24 procedures on how to incorporate climate change issues
25 into our guidance, but like I say it kind of gets back

1 to the thing I spoke about earlier in terms of coming
2 up with some common assumptions. And I know the State
3 of Washington, fortunately they're all able to -- they
4 are legislative mandated I think to use I think it was
5 the University of Washington data rather than -- you
6 know, there are so many organizations, scholastic and
7 governmental organizations, that are doing these kind
8 of assumptions work and well which organization do we
9 use? What assumptions do we use on the climate
10 changing, but up in Washington state they've been able
11 to just use one set of assumptions.

12 And then we're going to continue to develop
13 guidance for Caltrans staff on how to address climate
14 change in our various plans and designs and ongoing of
15 the transportation system. And those are just the two
16 titles of the documents I just read or discussed and
17 there's some links, copy them real quick if you want
18 to. Now, I'll be serious. I mean, we can provide the
19 links if need be later on. And that's all I had, thank
20 you.

21 MS. KORESEC: Great.

22 CHAIRMAN WEISENMILLER: Well, a couple of
23 quick questions?

24 MR. HOPKINS: Sure.

25 CHAIRMAN WEISENMILLER: One is you mentioned

1 191.3 tons of CO2 emissions. Is that per year?

2 MR. HOPKINS: Yes.

3 CHAIRMAN WEISENMILLER: Okay, and the other
4 one is have you seen much effort in this area by the
5 Federal Department of Transportation?

6 MR. HOPKINS: Yeah, you know, as a matter of
7 fact both the U.S. Department of Transportation and
8 also specifically the Federal Highway Administration or
9 FHWA have been very active on climate change issues and
10 helping provide some guidance to, you know, the states
11 and others in the transportation community on
12 addressing climate change.

13 And they've also provided some funding. As a
14 matter of fact we've got some funding to do a climate
15 change vulnerability assessment up in the North Coast
16 of the state up around Eureka, of vulnerability -- it's
17 tough for me to say -- of the transportation system up
18 there to climate change impact. So yeah, the federal
19 government has been. You know, we definitely would
20 like them to be a little more active, but they have
21 been there at the table definitely.

22 CHAIRMAN WEISENMILLER: Okay, and the final
23 question is when you mention climate change impacts on
24 transportation do you have a sense of what the dollar
25 amounts are associated with some of these impacts?

1 MR. HOPKINS: No, we're just starting to get
2 to that, that kind of information. And as a matter of
3 fact we're trying to get some funding together to do an
4 assessment of the climate change impacts to the
5 transportation system, but it's just getting off the
6 ground. It's going to take us, I would probably say,
7 five or more years to get a statewide estimate, a real
8 conclusive. Because I mean we're looking at for
9 example the culverts, the drainage culverts, you know,
10 the pipes underneath the freeways that drain water.
11 You know, we've had to get a better handle in terms of
12 what the rainfall impacts would be, and is our culvert
13 sized right, dimension, diameter to accommodate that
14 additional rainfall.

15 CHAIRMAN WEISENMILLER: Okay, thank you.

16 MR. HOPKINS: Uh-huh.

17 MS. KORESEC: Any questions in the room?
18 Richard?

19 MR. HOPKINS: Hi.

20 MR. ASLIN: Hi, Richard Aslin, PG&E. On the
21 topic of common planning assumptions I think that would
22 be a very good thing for all the parties to get
23 together and see if we can come up with some common
24 planning assumptions. The one that I think has been
25 most hard to pin down is in the actual value of GHG

1 reduction in terms of dollars per ton of GHG reduction.
2 I'm just wondering, in your advice to the other parties
3 do you have a figure that you're using at Caltrans?

4 MR. HOPKINS: No, nothing in that respect, no
5 in terms of the value.

6 MR. ASLIN: Okay, I think it would be a
7 really good sort of subgroup to get together to see if
8 we could come up with something that was common,
9 because there are so many analyses that use that as a
10 key input. Thanks.

11 MR. HOPKINS: No, that'd be good, certainly
12 agree to have to work with you on that this year.

13 CHAIRMAN WEISENMILLER: Okay, thank you.

14 MS. KORESEC: All right, since we have just a
15 few minutes before lunch I do want to open up the phone
16 lines in case any of our callers have any questions for
17 any of our morning's participants. So Annette, can you
18 open the lines? All right, all your lines are open, do
19 we have any questions for this morning's presenters?
20 All right, hearing none I think it's time for us to
21 break for our lunch. We'll be reconvening at 1:00
22 o'clock. Thank you very much.

23 (Off the record at 11:55 a.m.)

24 (Resume at 1:10 p.m.)

25 MS. KORESEC: Hi, everyone. Thank you for

1 your patience. We're going to go ahead and get started
2 again with our afternoon panel on Impacts of Climate
3 Change on Energy Supplies starting with Craig Bolger
4 from PG&E.

5 MR. BOLGER: Thank you. Okay, yeah I'd like
6 to say that a lot of what I'm presenting today is work
7 that has been previously driven by Gary Freeman. So
8 Gary is, I guess he wouldn't be the acting, he's the
9 real principal hydrologist, and acting was the best
10 term I could put on there. But we're here today to
11 present results that we've seen over the years on our
12 data sets on our large system of hydroelectric
13 powerhouses.

14 And just to give you a quick overview of
15 PG&E's system: we have 68 powerhouses, 110 generating
16 units and that's a total megawatts of 3896 in hydro-
17 generation. We have approximately 2.3 million acre
18 feet of surface water that we manage through that
19 system. And, of course, with that there's a lot of
20 infrastructure that goes along with it: 99 reservoirs,
21 174 dams, 184 miles of canals, 44 miles of flumes and
22 135 miles of tunnels, 19 miles of pipe.

23 There's also a lot of lands that are
24 associated with that, but we have 26 Federal Energy
25 Regulatory Commission licenses and we have 3 projects

1 that are actually unlicensed due to their size. And
2 our system extends from Shasta in the north down to the
3 Kern River around Bakersfield in the south. And we do
4 have one little unit out here in Potter Valley that's
5 on the Eel River.

6 And you would think with all that it'd be
7 more, but it's only about five percent of the total
8 energy mix for California's energy.

9 The purpose of this slide is to give you an
10 idea. I want to stress the fact that our hydroelectric
11 system stretches over 500 miles. And in that the
12 elevation is much lower in the north and that elevation
13 increases as you go to the south and there's a lot of
14 geographic and geology changes, which occur over that
15 stretch. To the north we have large aquifer-fed
16 systems, which have a large percentage of ground water.
17 To the south it's mostly stream-fed systems.

18 And the Feather River, which we're going to
19 focus on a lot today is actually a system that's to the
20 northern end of the Sierra. It's pretty
21 topographically complex. It has a lot of lower
22 elevation large acreage area watersheds and it actually
23 goes through the Sierra Crest and drains, what would
24 really be the considered the east side of the Sierra's
25 with over 1,000 miles of acreage in just that one basin

1 on the East Branch of the Feather River.

2 And this is our traditional mix of our
3 hydroelectric. You can see that 37 percent of it comes
4 from snowpack, 25 percent is rainfall and then 38
5 percent of it is actually groundwater or from the
6 aquifers. And by far a huge majority of that is from
7 the Feather River north on the Pit-McCloud and the
8 Feather River systems.

9 What we're doing here in assessing our
10 hydroelectric system, and the impacts we're seeing, is
11 really to look at our historic data sets. We have
12 large data sets that go back to the early part of this
13 century. And then daily we have a large, operational
14 database, which will take the gauged flow through our
15 projects and we can turn that into unimpaired sub-basin
16 flows. And we forecast our runoff taking that river
17 reach and turning it into smaller sub-basins.

18 And we take those sub-basins, and I apologize
19 on that third bullet there's probably in your hand-out,
20 it wasn't complete. I noticed that somehow I chopped a
21 chunk of that off. But when we can then go back and
22 look at the smaller sub-basins that were forecast it
23 allows us to look at it from the aspect of elevation
24 topography, whether it's a rain-shadowed basin, and the
25 other factors that would influence why there might be

1 difference in the old data set of runoff that we're
2 seeing in that area.

3 And before I jump into some of the data and
4 show you I'll tell you what we're seeing from looking
5 at our data sets. Most change has occurred with time,
6 which we would attribute to climate change, on our
7 relatively lower elevation northern Sierra basins.
8 These basins have large surface areas. They're lower
9 in elevation and they are more readily impacted by
10 temperature change, so we do see our greatest changes.

11 Water year runoff has declined in two of
12 those basins in the upper North Fork. And that would
13 be the sub-basin for Lake Almanor, which is about 500
14 square miles and then the East Branch and the North
15 Fork of the Feather River, which is about 1,000. And
16 both of those are rain shadowed. They're in a
17 situation where there's a large amount of aerographic
18 lifting, which occurs before the storms move into that
19 part of the basin. We see it rain shadowed and we see
20 the effects of that and we see the effects of
21 temperature on that.

22 It's interesting to note that other North
23 Fork Feather River basins that are spatially located
24 close you would expect to see a change in those sub-
25 basins too. But we're seeing in those, particularly

1 those ones with strong aerographic cooling, that
2 there's relatively little impact that climate change is
3 having on them other than we do see a little bit of
4 increased runoff in March. And we'll look more at
5 that.

6 Water runoff, water year total runoff, full
7 natural flow has not changed a lot in those sub-basins.
8 A good example of that would be the Bucks Creek
9 Watershed, just as an example if you're familiar with
10 that.

11 We're also noticing if we take a look at,
12 particularly those rain-shadowed basins Lake Almanor in
13 the East Branch and North Fork Feather River, we're
14 seeing that the average minimum temperature -- and if
15 you look at the numbers you see here five-six degrees
16 for Lake Almanor basin for January and as much as nine
17 degrees in the East Branch and North Fork Feather River
18 basin. And so that's quite a change and if you look at
19 those lower elevation basins you can see why those
20 amount of temperature changes would have a big impact
21 on them.

22 There's been a large decline in the aquifer
23 outflow of the springs into Lake Almanor, which I will
24 show you that.

25 And we also, in looking at the North Fork

1 Feather River snowpack, a lot of those snow courses
2 aren't as high as you would see in the southern
3 Sierras. They're basically lower, with the exception
4 of the Lower Lassen Peak course, which has no shown any
5 decrease, but the others show April 1 total snowpack as
6 decreasing with time.

7 So let's jump right in on this particular
8 slide. This is a 30-year moving average of the east
9 branch of the North Fork Feather River. And this is
10 the April through June mean run-off. And what is
11 really interesting to note on that is you can see the
12 trend from -- I almost have to take these glasses off
13 to see this -- from 1964 through 2012. And you can see
14 that we're seeing a very large decrease of almost 40
15 percent in the 30-year mean average. This, keep in
16 mind here, is April through June.

17 If we take the same analysis and apply it to
18 what we're seeing in the month of March, you see quite
19 a bit of a increase in run-off with time, into the
20 month of March, nearly a 40,000 acre-feet increase
21 since 1964.

22 So what causes that? I spoke earlier about
23 the temperature changes in the east branch and the
24 Almanor Basin. This year gives you an example of how
25 much the temperature has changed in two successive 34-

1 year periods, but this isn't -- I gave you higher
2 numbers earlier, because that was all days in January.
3 But if we just look at the days when precipitation is
4 falling in the Almanor Basin you can see that January
5 actually is now 2.3 degrees warmer than it was in the
6 period '43 to '76.

7 What that does of course, is it's going to
8 give you on average you're going to see a higher
9 concentration of rainfall or precipitation is going to
10 come in the form of liquid rather than solid
11 precipitation. And what you also see from the higher
12 temperatures in January in general, and into March
13 you're going to see more runoff and melt occurring that
14 you would have seen in those previous years just due to
15 the temperature increase in those basins.

16 We also took a look, I mentioned earlier that
17 the aquifer inflow to Almanor has also changed with
18 time. These are three successive equal length 29-year
19 periods where we extrapolated the low flows in August
20 and September to determine what the base flows would
21 be. And this would be the annual average for '23 to
22 '51 period, the '52 to '80 and then the '81 to 2009.
23 You can see that there's been a 36 percent decrease in
24 the actual aquifer outflow.

25 This slide probably goes somewhere I don't

1 really want to go, but Gary produced this. And I think
2 it's a very good slide, yet I'm not quite sure I
3 totally understand what its showing. But what Gary has
4 done is he's taken the 30-year moving average for both
5 the Canyon Dam precipitation and the Lake Almanor
6 unimpaired natural flow for the 30-year period. And
7 he's superimposed them, got the scale to where it
8 superimposes.

9 And you can see that it does track and it
10 tracks right out of that very dry period that we had in
11 the first part of the century. But you can see that
12 after about 1987 or so there is a big difference in the
13 tracking and what changes there. And Gary feels that
14 you might also be seeing the big effects of less
15 logging practices, decreased logging and seeing the
16 effects of more evapotranspiration taking place in the
17 watershed.

18 It's just something that we should look at
19 more and if there is another way to really try and
20 quantify that.

21 This slide goes along with what Dan spoke of
22 earlier about there being more variability in recent
23 years. If you look at the period 1935 through 1975,
24 and you look at dry years of the total unimpaired flow
25 on the North Fork of Feather River at Pulga, those

1 years below 1.2 million acre feet are classed as a dry
2 year. And in that period from '35 to '74, there was
3 one that met that criteria and since '76, there have
4 been 11.

5 But if you look at the total difference, up
6 here on this little section right there, the difference
7 there is really little more than ten percent in those
8 two time periods. And the amount of variability you
9 see in the dryness isn't there, so I think if we had
10 another slide we need to produce the same thing to show
11 the wet years. And I think you're going to see a
12 significant increase in the '76 to 2010 period also, on
13 wet years. And that would explain and that fits right
14 in with the variability that you would expect to be
15 seeing.

16 In this particular slide we looked at '42 to
17 '76 as one period. We're looking at the monthly
18 average unimpaired flow for each month. And if you
19 look at the period '76 to 2001 you see a big shift from
20 the April-May-June. You see that the runoff in those
21 periods, in those months, has decreased their
22 percentage of the total water year runoff. And if you
23 look at February and March, you see a big increase in
24 runoff earlier in the year.

25 Now this is for the North Fork and the

1 Feather River and we focused on the North Fork. But if
2 we take that one step further and look at really the
3 same analysis to look at the percent change of every
4 other watershed that we have, and you look there at the
5 4.4 percent, that is the Feather where we've said we
6 see the biggest impact. But you see a marked change as
7 you go from north to south in all of the watersheds
8 that you're seeing more runoff in the month of March,
9 in recent years. And that begs the questions then if
10 we're seeing more runoff in March what's happening with
11 the entire water year?

12 So from north to south this is the -- just to
13 summary it, south of the Yuba the water year runoff has
14 increased for the most recent 35-year period. You can
15 see that it crosses there and it looks like everything
16 to the Yuba River, everything to the Yuba River north
17 has had a decrease in overall runoff while the southern
18 Sierras, the southern portion of the state -- actually
19 it's not that far south, it's the American south, has
20 had an increase in overall runoff for the water years.

21 And if you think about it when we talked
22 about the large sub-basins or the large basins like
23 we're seeing on the Feather River that are large and
24 sprawling lower in elevation, and you throw climate
25 change on top of that, if you go to the higher

1 elevations where there's less surface area per change
2 in elevation it only makes sense that you have a warmer
3 atmosphere that can hold more moisture. You're going
4 to see an increased rainfall.

5 And I recognize that this is hard to see and
6 maybe you can see it in the handouts. What we did is
7 we took the April through June runoff periods, and that
8 change that we saw from the two time-step periods, we
9 extrapolated that out. That slide that we made earlier
10 was done in 2009. So if we extrapolate that out going
11 forward, this is our prediction based on the current
12 rate of change we see in the April through June run-
13 off, which sub-basins and what kind of decrease we're
14 going to see going forward. Now, that's a straight
15 trend line from historic record, which really just
16 takes the history of what we've seen and what we see
17 happening in our data and what we see in the physical
18 parameters going forward.

19 It just imposes what we believe we've seen
20 from climate change now and how we think it will impact
21 us going forward, so these are the conclusions we've
22 come up with. As we said, we're seeing climate change
23 having its biggest impact on our Northern California
24 watersheds. I mentioned the Feather River. The Pit in
25 McCloud, if you'll notice from those previous slides,

1 didn't show as much a decline. And we have more work
2 to do there on those, but we're not seeing the percent
3 aquifer decline that they have either. They are
4 primarily very large aquifer-fed systems, the Pit River
5 and McCloud and the Fall River systems. And that
6 mechanism, still we need to do more work to understand
7 the entire mechanism as to how those progress, but we
8 feel that what will impact them in climate changes they
9 have relatively low elevation sub-basins also.

10 And we feel that if you see more
11 precipitation falling as rain it runs off without the
12 opportunity to percolate and recharge those aquifers.
13 And we think you'll begin to see them there too. It's
14 just they're much bigger in scale from their
15 contribution compared to what we see at the Lake
16 Almanor.

17 March runoff has increased for all water
18 sheds. Adaptation is an important management planning
19 tool. Based on the information we see, particularly
20 where Almanor being one case and other places where we
21 have reservoirs, we're typically holding higher on our
22 reservoirs recognizing that we're getting more of that
23 runoff early. Holding it, which works fine if you're
24 doing it from a generation standpoint, but when you get
25 into flood control that's a whole other issue and

1 fortunately we don't have to address that.

2 Water year runoff has increased in the recent
3 35-year period for water shed south of the Yuba. And
4 as I shared if that current rate continues we don't
5 think that we will see impacts to our overall hydro-
6 generation portfolio for the next 12 to 15 years. But
7 however we think if that trend line plays true and we
8 think if variability continues in same manner it is,
9 higher flows, higher precipitation, bigger drier dries,
10 there's going to be impacts that we can't yet quantify.
11 So we feel pretty safe that in the next 12 to 13 years,
12 overall hydro-production will be about the same.

13 I already addressed the aquifer outflow
14 issues. March runoff is currently greatest in the
15 Feather. We talked about the minimum air temperatures
16 and how they're impacting the aerographically
17 challenged sub-basins. Recent years, as I showed,
18 increased the number of dry years in North Fork to the
19 Feather River has increased quite a bit. And we're
20 going to continue to monitor and track, particularly
21 looking at these small challenged sub-basins. So,
22 that's it.

23 CHAIRMAN WEISENMILLER: Thank you, a couple
24 questions. First, at one stage I always thought of the
25 PG&E hydro system as roughly one-third pondage and two-

1 thirds run of the river and more from an energy
2 perspective. So part of the question is how do these
3 trends affect at least the mix of run-of-the-river
4 pondage?

5 MR. BOLGER: Well, of course pondage gives
6 you more flexibility. And you're obviously -- when I
7 speak of a basin that's going to get runoff in March
8 hey I can still capture that runoff in March and
9 utilize it. We do see a problem though on our run-of-
10 the-river-type locations. A lot of what comes in
11 March, an increase there can equate to spills and not
12 generation, because you can't utilize it.

13 CHAIRMAN WEISENMILLER: Right, other question
14 is sort of also think of the PG&E hydro system in terms
15 of not only expected value, but adverse hydro and high
16 hydro. So do you see the variability in, you know,
17 decreasing the adverse and increasing the high or how
18 do you see the distribution?

19 MR. BOLGER: In what terms are you using
20 adverse and high?

21 CHAIRMAN WEISENMILLER: Sort of low energy
22 production, so maybe your worst hydro year or among the
23 worst for an adverse planning purpose. And then high
24 hydro obviously is again sort of something where you
25 try to capture the value. But presumably the planning

1 is done on an average and at least adverse side.

2 MR. BOLGER: Well and that's where you try
3 and be a little bit adaptive in your philosophy and
4 move away from a more of a statistically-based model
5 and move towards of a more deterministic type whether
6 it's in a modeling or in your operations and knowing
7 that going into it. I'm not sure if I answered your
8 question though.

9 CHAIRMAN WEISENMILLER: Yeah, it's just is
10 the worst going to be worse or is it going to be no
11 change in them?

12 MR. BOLGER: Yeah probably, probably. I
13 think if you see very dry years we know how those have
14 impacted, you end up with less generation. The one
15 thing that we have as a saving grace is that we do have
16 those large aquifer-fed systems. So in those dry years
17 the percentage that they produce is actually very high
18 up on the Pit and McCloud. So unless we start seeing
19 what we say that we think that the aquifers get
20 challenged as climate change continues, we'll still see
21 good, underground storage being utilized during those
22 dry years.

23 COMMISSIONER DOUGLAS: So I have one question
24 and I didn't see it directed in your presentation, so
25 you may or may not be able to answer it. But one of

1 the constraints on operation of hydro systems is
2 management for endangered species protection, for
3 example, and ecological systems. And so my question is
4 what kind of work has been done to look at how the
5 changes that we are seeing and projecting in rainfall,
6 for example in these river systems, how might they
7 impact ecological functioning? And might there be some
8 additional constraints or even opportunities, I don't
9 know, that could affect -- or I think more likely
10 constraints that could affect how flexibly these
11 systems are operated?

12 MR. BOLGER: You know, I think probably the
13 best way I can answer that question is if I look at
14 what's going into our relicensing processes and you see
15 much more now as we're relicensing. We're trying to,
16 in our in-stream flow releases for aquatics and
17 biology, we are trying to mimic more the natural
18 hydrograph and do things like that. And I think that's
19 where you see. You look at past practices and you look
20 at insights going forward.

21 I don't know if it's specifically that I can
22 say that I know we've had opportunities where we're
23 saying how are we addressing climate change in this
24 license? But I think the fact that they're trying to
25 put more flexibility and more variation in those in-

1 stream flow releases will help do that.

2 COMMISSIONER DOUGLAS: Thanks. That's
3 helpful, because as I try to think about how we need to
4 think about the hydroelectric system and how it may
5 change going forward, it seems like there are some
6 changes that might just be brought about by different
7 perspectives on how these systems should operate that
8 are coming out in today's relicensing proceedings, for
9 example. And in addition there's climate change, which
10 has some physical changes.

11 And in addition to that there are certainly
12 ecological changes that the climate change could
13 precipitate that may impact operations themselves. And
14 I don't really have a good sense of whether all of
15 those shifts are going in one direction or whether, you
16 know -- and what impact they likely would have.

17 MR. BOLGER: Yeah, you know, just comment on
18 that having been doing this for 30 years, and coming in
19 with licenses back then that were 25 years old and that
20 have been renewed. And I look at the licenses that we
21 have now and the adaptive management that's been
22 incorporated into those, the ecological review
23 committees, which continue to look at the results of
24 the license implementation there's actually a lot of
25 good changes that are going on there. There's a lot

1 more modification and thought goes into those licenses.

2 MS. KORESEC: Any questions from the
3 audience? All right thank you, I think we'll move on,
4 thank you. Oh, sorry.

5 MR. CAYAN: Boy, she is fast on the trigger.
6 Interesting talk, I wondered how confidently you feel
7 about the temperature records you showed?

8 The reason I'm asking this question, we've
9 had I would say a real challenge establishing what the
10 historical change and variability is in Sierra
11 temperatures. There's a lot of instrumental problems
12 in mountain stations and the amount of temperature rise
13 you're seeing is really impressive. It seems to
14 correspond to the changes in the runoff fractions and
15 snow declines and so forth, but do you have any idea
16 what the uncertainty is? I'm Dan MR. CAYAN:, I'm UCSD
17 Scripps and USGS.

18 MR. BOLGER: The particular gage that was
19 used there, I have to go back and see what was used on
20 the east branch, but the particular slide which showed
21 the Lake Almanor basin I believe that was based at our
22 Canyon Dam gage, which has been a manually-operated
23 gage daily read. So from an instrumentation standpoint
24 we had good mercury old-thermometer information. So
25 it's probably about as solid as I would think.

1 Now, are there systematic errors imposed in
2 the newer period of record? I would have to look, but
3 I think they're still manual there also even though I
4 know the current information is coming in through the
5 CDEC system. So it's a very good question. I'll chat
6 with Gary about it.

7 MR. CAYAN: Yeah, I guess the other thing I
8 wondered was the north-south change that you saw in the
9 total annual runoff if I got it right, declined in the
10 north which transitioned actually quite rapidly to an
11 increase in runoff. Does that mimic precipitation or
12 is this hydrology that is doing something other than
13 the spatial gradient in precip?

14 MR. BOLGER: And I don't have the temperature
15 slide in there and that would be a good one to look at.
16 I actually thought of that today, that that would be a
17 good question that someone might ask.

18 MR. CAYAN: All right, well we can talk about
19 it --

20 MR. BOLGER: But I believe that is what we're
21 seeing. We're not seeing an appreciable decrease in
22 precipitation as you go south in chatting with Gary and
23 with the other forecasters we have out there.

24 MR. CAYAN: Yeah, I guess the question would
25 be is there a decrease to the north that would

1 (inaudible) --

2 MR. BOLGER: Yes, there is I can tell you, in
3 the Feather River Basin.

4 MR. CAYAN: Okay.

5 MR. BOLGER: Yes.

6 MS. KORESEC: All right. We're moving on
7 now. The next presentation is Gregory Biging and John
8 Radke.

9 MR. BIGING: Okay, thanks.

10 MS. KORESEC: Sure.

11 MR. BIGING: Commissioners and public, fellow
12 researchers, this was our initial title but when we
13 thought about it further we thought this was more
14 characteristic. And of course about 30 minutes ago we
15 might want to remove the term "just gas", but we might
16 add "Gas and Liquid in Pipelines."

17 So we're looking at pipelines, specifically
18 transmission pipelines that come from the National
19 Pipeline Mapping System. This system has both natural
20 gas pipelines and it also has hazardous liquid
21 pipelines as well. And these are pipelines used for
22 gathering, transmission and distribution. And their
23 size varies and the pressure of the product varies,
24 etcetera.

25 And I appreciate that Dan mentioned this

1 morning that we might hear about transportation, but
2 that was our last talk. And although we could talk
3 about transportation failures, but we thought we'd move
4 on and look at the gas infrastructure and the pipeline
5 infrastructure. Now, I want to thank Dan and David and
6 Joshua. It's always good to have the mornings scare
7 us. And every time I hear them talk it gets scarier
8 and scarier. And that's why I have a cabin in Canada,
9 next to Lake Superior just in case I need to get out of
10 town for those very warm days.

11 The arrow is pointing to an actual truck.
12 It's a Department of Water Resource truck driving along
13 a levy on Sherman Island underneath Highway 160, the
14 bridge. And the truck is being overtopped by a storm
15 surge. And this isn't one of those "one in 20 years";
16 this is just an average storm that's happening in the
17 winter. And we heard there was a storm coming, it
18 sounded like it was a good one, and thought we'd go out
19 and take some pictures.

20 So the point is that global circulation
21 models and Dan and David and Joshua's information
22 hopefully frightened us enough that we do have a
23 crisis. And we have these infrastructure systems.
24 They're technologically aging and you'll find out more
25 about the Delta, how old it's getting. We have natural

1 disasters human-caused, we have malfunctions along with
2 global change. And we want to thank Dan and others,
3 his research team, for running some models. And we
4 chose to look at 1.4, which I think is reasonable. But
5 I noticed a slide up there this morning, 1.41 and so
6 maybe we might want to change that. Taking from what
7 Dan and others have done, that they're becoming more
8 frequent, we heard that this morning as well. More
9 frequent as sea level rises and it turns out that it
10 doesn't take a huge storm event to have the same impact
11 as we move further into this century, because of sea-
12 level rise.

13 And so what we're interested in is modeling
14 the coastline and modeling the impact, the inundation,
15 and getting it as exact as we can. And trying to
16 understand what the impact on the pipeline
17 infrastructure system is. Almost a year and a half ago
18 we talked about what the impact on the transportation
19 infrastructure was. And we thought we would move on to
20 something that is a little more dangerous, I think.

21 And we start off with some surface models and
22 what we've done is we've managed to acquire lighter
23 data for a lot of areas. And we build from that both
24 the digital elevation model, which is pretty common and
25 then a digital surface model. This data is gathered by

1 aircraft, a number of different flights by a number of
2 different government agencies and we've been stitching
3 them together. And this is the last pulse, so that's
4 the elevation model. And we add to that the surface
5 model, because we found that we can build a more
6 accurate model of how land might be inundated by
7 including those two get two together. And the first
8 pulse is that which the LIDAR hits first or the tops of
9 trees, the tops of buildings, etcetera.

10 We have coverage from along the coast of
11 California, and thanks to the NOAA we've managed to
12 gather all that data. And we've been in the process of
13 -- I want to point out we're just at the beginning
14 stages of this research and we've been verifying that
15 data. And I read a piece of email this morning from
16 one of the graduate students and we're verifying that
17 data with other data bases to make sure that it's quite
18 accurate. We also have the Bay Area and we also have
19 the Delta. And we're in the process of processing that
20 data to build surface models.

21 Now a little bit about the accuracy of these
22 models, because I'm not sure how familiar people here
23 were or are with them, but they're very accurate. And
24 here we have a photograph over top of a levee, a
25 constructed levee of concrete, outside SFO, San

1 Francisco's airport. And you can see it shows up quite
2 nicely on our model of that area.

3 The National Pipeline Mapping System, that's
4 where we gathered our pipeline data. And I must say we
5 are in the process of talking to the major pipeline
6 operators to make sure that this data is accurate and
7 up to date. It's supposed to be, but we just want to
8 make sure. They only have to report it once every
9 year.

10 And the Pipeline Hazardous Materials Safety
11 Administration, they have it updated every December
12 31st. I think that's when they publish new updates.
13 But they're also updated in March as well, so there's
14 different dates and we're in the process of making sure
15 that we have the latest data. And of course that is
16 handled by Michael Baker Corporation out of Washington
17 or Maryland. And so we go through them to actually get
18 the data.

19 In the world of pipeline infrastructure it
20 turns out that that database is what you see in this
21 red box. And it wasn't just gas infrastructure, it was
22 also liquid. And the liquid we realized was very
23 dangerous. And in fact if it is compromised, if the
24 pipelines are compromised, it turns out in some cases
25 certainly environmentally more dangerous and could be,

1 actually more dangerous if it ignited, because some of
2 it is jet fuel going to the airports and other forms of
3 liquid fuel.

4 So this is the database for California and
5 down the left-hand side are just the lists of all the
6 operators. And, of course, the two largest and most
7 important ones are Pacific Gas and Electric, who just
8 gave the last talk, and Southern California Gas Company
9 and those are really the major players. And we've been
10 talking to and having meetings with PG&E making sure
11 that the infrastructure that we have is up to date.
12 And also you'll see later on trying to understand what
13 they're doing and how vulnerable they feel to different
14 kinds of changes and inundation caused by climate
15 change and sea-level rise.

16 So here's the pipeline infrastructure in the
17 Bay Area. And inside the database there's a number of
18 records, and the ones highlighted in red are the ones
19 that were -- really have in the Bay Area. And there's
20 zooming in on San Francisco Bay and we see that there's
21 actually a jet fuel line going to the airport. It
22 actually goes under the Bay, comes up at the Oakland
23 Airport and then heads up Walnut Creek up to the
24 refinery in Martinez.

25 And then this is the Sacramento-San Joaquin

1 Delta and the infrastructure that lies there. And, of
2 course, you see that there are some liquid pipelines
3 through the Delta, but the majority happen to be gas
4 pipelines. And there are some large storage
5 facilities: one at Sherman Island and one at McDonald
6 Island, McDonald Island being the largest. And both
7 those islands are at risk even if there wasn't climate
8 change and sea-level rise, but they are at risk to
9 storm inundation.

10 On Sherman Island there's just going onto
11 Google Earth and taking a look at the pipeline, it
12 comes up above this slough likely because it was just
13 too risky going underneath it. There would probably be
14 a lot of movement in this area, so they chose to go
15 above. And there's that close-up shot at how large
16 those gas pipelines are.

17 Inside this database there's typical records.
18 The ones that are just highlighted in red are the ones
19 that occur for every pipeline. There are some other
20 data in that record, but not consistent enough. Those
21 are the records that are consistent and likely the ones
22 that are necessary. In any kind of database, some
23 records are required and other ones are optional. So
24 as we look through the database for all of California
25 those are the ones we found were completed for each

1 record, each pipeline.

2 So on to the inundation, because we're going
3 to then model how do these given climate change, given
4 sea-level rise, given these storms as they increase how
5 might they inundate the land and what is at risk? The
6 idea is if they do and they start to permanently occupy
7 the land then we have pipeline with saltwater lying on
8 top of it. Or even just water lying on top of it,
9 because we learned recently that water, a lot of water
10 over a long period of time on top of the surface, no
11 one really knows how that might impact the pipes
12 underneath. Not just corrosion, but also causing some
13 damage to the pipeline itself, because no one
14 anticipated that much weight being on the land.

15 The reason why we talked about both the
16 digital elevation model and the digital surface model
17 is if we just used the digital elevation model and we
18 inundate, using a bathtub model, just filling up the
19 bathtub, the one on the left shows a lot of land
20 inundated. But it turns out if we use the digital
21 surface model there are things that act as natural
22 breaks, railway tracks. And so they actually act as a
23 levee, a natural levee, or even a manmade or human-made
24 levee to hold back some of the water.

25 So it turns out in this one area where we

1 modeled, the bathtub approach is on the left, the
2 pathway approach is on the right, shows that there is a
3 lot of land that would be behind some sort of levee
4 that wouldn't be impacted. So this is actually a good
5 thing. The model becomes a little more accurate.

6 We used this equation; peak water level was
7 equal to the sea-level rise plus the 100 year flood.
8 We ran through four scenarios and we've done that in
9 the Bay Area and we're doing that in the Delta and
10 we'll do that up the coast. And this is just an
11 example of that rise, the blue being the lower sea-
12 level rise all the way through yellow and the orange or
13 the red being the 1.4 meter rise at 2100, predicted at
14 year 2100, with the 100-year storm event. Now the 100
15 year storm event, if you go back and to one of -- if I
16 went back and showed you it's going to start to occur
17 more often, more frequently, because of sea-level rise.
18 So the same impact we're going to get happening
19 eventually year after year. And that's why you want to
20 model.

21 Katrina was probably the 100-year event and
22 we're still trying to recover from that and it's been
23 almost over a decade. And so if this happens every
24 year we can't recover, so there's some infrastructure
25 if it gets inundated, we have to consider moving, not

1 trying to armor. Right now the process is armoring
2 some of the levees in the Delta and there's a debate,
3 an ongoing debate whether that's an effective use of
4 dollars. Here we have the sea-level rise for the Bay
5 Area, so that's complete.

6 Now let me go -- that was one inundation
7 where you move in a pathway. Let's go to this other
8 inundation, it's the Delta. And it has different
9 dynamics. So if we look at the Delta we've got the
10 picture of, I don't know, Sir Francis Drake showing up
11 with the boat and going up the Delta. And then of
12 course, there was going back as the late 1800s trying
13 to permanently create islands. The islands would occur
14 on the Delta, but they'd move around year after year as
15 the water meandered through. And in fact, they would
16 enrich the land. So they'd flood and the land would be
17 enriched and it was a great place to grow things.

18 So farmers got hold of that, but they wanted
19 to stabilize the property. They didn't like the idea
20 of being flooded and moving around, so they built
21 earthen levees. That's the bad news. They built
22 earthen levees and most of the 1100 miles of Delta,
23 most of them are earthen levees. In fact, there's
24 rumors of X-raying some of them and old tractors being
25 just pushed in and become part of the levee.

1 So what happened if you look at this slide in
2 the 1900's we start pumping out the water. And we get
3 to 2000 and we pump out the water every night.
4 Actually, on Sherman Island five pumps operate every
5 night to pump out the water. And there are areas of
6 Sherman Island that are minus 24 feet below the
7 Sacramento and San Joaquin River.

8 And I really delight in taking my students
9 out there and driving over the bridge and descending
10 down onto the island. And when you do that, you have no
11 sense that you're below the water level. I just love
12 to do this, city kids, and driving up on the levee.
13 And then I turn around quickly and look at the back of
14 the van and I see the horror on their face to realize
15 that we've been driving around 24-feet below water
16 level. So the island's getting worse, because we have
17 all kinds of chemical reactions and the land has dried
18 out completely. And if it floods, if there's a levee
19 failure, that's what happens.

20 Well, unlike New Orleans with the levee
21 failure -- and here's just some of the information we
22 know about the levees, we know about their heights
23 through the LIDAR. We have some organic material,
24 because they have been tested and we have under-seepage
25 continuing to happen. So we have this dynamic

1 environment, which in fact we used earthen levees to
2 hold back the water. And here's what it looks like and
3 those poles should be straight, but they're not. And
4 you see the water and you see the sheep, they haven't
5 got a clue that they're about 20-feet below water level
6 at this point. That's highway 160 on the right.

7 So if there is a breach, if there is an
8 overtopping, the levee fails. And unlike New Orleans,
9 where they actually put barges in, the Department of
10 Water Resources if it's too dangerous, will not try to
11 stop the lever from flooding. It's too dangerous, so
12 they'll pull back and let the island completely fill
13 up. It takes about three months to pump out an island
14 and that three months of water sitting, depending on
15 the size of the island, water sitting on top of the
16 infrastructure is a very risky thing.

17 It amplifies, or course, with sea-level rise,
18 storm intensity, seismic activity. And here are just
19 some pictures of past events, some of them caused by
20 storms and some of them just caused by other ways of
21 damaging a levee.

22 And this is Sherman Island and this is just a
23 bathtub approach to Sherman Island filling up. We
24 actually have run some different models, inundation
25 models on this island, and it floods differently. But

1 of course, you have to break the levee at certain
2 points and but that's what it would look like before
3 they started to fix the levee and pump it out. And you
4 can imagine all the infrastructure underwater.

5 So pipeline impact, here's the Bay Area,
6 there are the pipelines. There are the different storm
7 surges and colors. And here's a zoom-in of the
8 airport. There we see the jet fuel line coming up to
9 the airport and it will be inundated. And of course,
10 it's inundated and the red lines on the left-hand side
11 are the ones that are inundated, so they become under
12 water, some of them permanently.

13 And on the right-hand side is just zooming in
14 down near, down around Fremont. And we see that
15 there's 275 kilometers or 171 miles of pipeline that is
16 inundated. But the reason why I zoomed in is, look
17 that other number, 498 segments get inundated. So it's
18 not just the length it's these segments and if you
19 notice there are bits and pieces of the segments. And
20 in between those segments there's long pieces of line,
21 in this case gas line. I have some gas line. So it
22 turns out that we're at more risk. This number of 275
23 kilometers or 171 miles is a low number, because the
24 pipes that are in between that won't get compromised
25 are still going to be out of commission, if in fact we

1 have a break, or if we have some corrosion that takes
2 place.

3 So we have our to-do list and this is doing
4 the Delta at a very high resolution. And then doing
5 the coast at a lower resolution just to get a good
6 sense of what's going from San Diego on all the way up
7 to Eureka. And what we've been doing is implementing
8 this process. We've employed this process where we've
9 gone through the literature and then we have these
10 recurring key informant discussions with the operators
11 of both natural gas and hazardous liquids,
12 understanding how they're preparing for climate change,
13 how they're preparing for inundation and what really
14 concerns them.

15 And we've had some very, very positive
16 discussions with PG&E so far where we've both learned a
17 lot, I think from each other. And it's helped
18 certainly enlighten our research. Some of the things
19 we thought might not be of concern to them turns out
20 were. And some of the things we thought that they
21 should be concerned about, they were not and they're
22 now concerned.

23 And then our final slide is to determine
24 where the inter-connected critical pipeline
25 infrastructures are impacted, because it turns out that

1 oil and natural gas -- and oil would be those liquids,
2 jet fuels etcetera, diesel fuel -- turns out that there
3 are only two parts of the entire infrastructure. We
4 have transportation, which we actually have modeled
5 before, talked about at one of these events. But it
6 also has to do with electric power, telecomm and water,
7 because all of these are interconnected. And if one
8 breaks it takes down the rest of them much like a
9 domino.

10 So we're in the process of really finding out
11 and measuring where the gas infrastructure is going to
12 be compromised over the next 90 years. What people are
13 thinking about and what they're doing about it. And
14 also trying to understand how that might have a domino
15 effect on the rest of the infrastructure, so it's
16 always nice to follow Dan and David and Joshua telling
17 us what's likely going to happen. And then, of course,
18 we're pulling up the rear trying to say well if that
19 does happen, what's going to be the impact? Can we
20 foresee it and can we do something about it?

21 So I really appreciate the people that were
22 planners that were there ahead of me talking about some
23 of the planning issues in Caltrans etcetera, and in
24 PG&E, because planning to me is critical. If we start
25 now, think now, act now we can actually redesign

1 infrastructure. I could go on and on and on about
2 what's going on out in the Delta and I've been there
3 watching them armor plate earthen levees. And some
4 engineers just shake their head and say, "Well, that's
5 actually making it worse."

6 So I think we have to take our heads out of
7 the bog, so to speak, or out of the silt and take a
8 good look at this. And maybe think of redesigning some
9 of this infrastructure, because if Dan and David and
10 Joshua are correct we could stop burning fuel now and
11 it's still going to happen. We're still going to get
12 sea-level rise. We're still going to these storms and
13 we have to make sure we protect. And I don't think
14 that building higher levees, even if we build them out
15 of concrete, they tried that in New Orleans, is the way
16 to go. I think we really need to rethink.

17 Now I've showed you some islands, Sherman
18 Island and McDonald Island. Those are two islands that
19 actually where they store a lot of natural gas. And
20 McDonald Island is actually built, so that it can be
21 inundated, but I don't think for a long period of time.
22 And we've actually been discussing that with PG&E on
23 how long can that island be underwater before suddenly
24 the rest of the gas infrastructure in the region is
25 impacted? And if we are impacted, and if it happens in

1 the winter well then, you know, good luck, because gas
2 plays a critical role in generating electricity and
3 also heating our homes. Thank you, questions, yes?

4 CHAIRMAN WEISENMILLER: Yeah, are there any
5 easy adaptation strategies we can use in this area?

6 MR. BIGING: Easy?

7 CHAIRMAN WEISENMILLER: Relatively easy or
8 the easiest?

9 MR. BIGING: Yeah, I was asked the question
10 down in San Diego how much would it cost to fix the
11 transportation system? And I said it wouldn't cost
12 anything, you mean dollars? It wouldn't cost anything.
13 Politically it's huge, because you'd be making
14 political decisions now, planning and political design,
15 policy and design decisions now that would be fruitful
16 70-80 years from now.

17 So that's a tough one. But we need to start
18 thinking about doing this, because if we do it
19 correctly we can start moving some of the maintenance
20 money that we spend on infrastructure now, that is kind
21 of wasted money, and redesign the system so that when
22 we do have to climate change, we do have inundation,
23 its far enough away from the inundated area that we
24 shouldn't have to worry. You know, I take my students
25 out to take a look at some housing developments that

1 are planned and approved and they just shake their
2 heads, because it's just insanity. People putting
3 money into areas that are going to inundated.

4 And so I think the short term solution is
5 come up with a good plan, have a good long-term plan,
6 and start using some of the maintenance money to
7 redesign and rebuild our infrastructure. You know, on
8 the transportation I took a look at local roads and as
9 they get impacted and houses get swallowed up by the
10 ocean, should we be concerned? And I'm not a heartless
11 guy, but the answer is, "No, don't be concerned,
12 because as we lose those houses we also lose the
13 services to those houses. And that's okay, because
14 they're sort of gone. We don't need to service them
15 anymore."

16 We're not doing that with the gas
17 infrastructure, because that would be too complex a
18 model. But I feel the same way that eventually we're
19 going to have some gas infrastructure, not the
20 transmission stuff, but the smaller stuff that will be
21 inundated and they'll just cut it off. And it will
22 become one of those pipelines that no longer has gas or
23 any liquid flowing through it.

24 But these are the transmission lines and I
25 think we need to do something, these are the main

1 feeder lines to our system, our infrastructure system.
2 And we need to really redesign and rethink how we're
3 distributing that throughout the Delta to the major
4 centers, San Francisco Bay Area and Sacramento. We
5 need to rethink that; move them out of harm's way.

6 I was over at Delft, and Martine is here,
7 she's a PhD in civil engineering from Delft University,
8 the technical university in the Netherlands. And after
9 giving a talk there I said, "I don't know what it is
10 with you guys. Why after World War II you could have
11 moved uphill and you would have avoided all this," but
12 they love it. They love it down there. They love
13 levees. So anyway, there's no easy solution.

14 MS. KORESEC: Any questions from the
15 audience, David?

16 MR. MICHEL: Dave Michel, Energy Commission.
17 After Super Storm Sandy you're seeing some of the
18 utilities like Con Edison investing heavily on the
19 armoring that you just talked about. I think they just
20 spent \$400 million, maybe another billion in the next
21 couple of years, to armor some of the issues they had
22 during that storm. And there's probably a tendency to
23 continue that throughout the country, but also take a
24 look at what you've learned that we're not doing. And
25 I think that question is still out there, is the

1 question of what do you armor and what do you not? So
2 I think that so the community really needs to embrace
3 that kind of look at it?

4 MR. BIGING: Right, so Guido a year and a
5 half ago told me to look at the literature, I should be
6 looking at this literature, pointed me in the right
7 direction. And at the end of it I started realizing
8 that we're doing more here in California to look at
9 climate change and the effects of it than a lot of
10 other places. And I don't know if I was surprised or
11 not, but it's something I did learn that we're actually
12 doing more. And we're looking and we're modeling more.
13 We're more concerned.

14 We haven't done anything yet. You know, we
15 haven't changed our ways. We haven't changed our ways
16 in burning things either. But going to biofuel is
17 still burning something. It's just coming from another
18 source.

19 Hurricane Sandy is very interesting. You
20 know, politically what you want to do is you want to
21 fly in there with your helicopter or your stretch
22 government limousine and you want to have a photo op
23 and say, "We're going to rebuild." But there are times
24 when we just shouldn't rebuild. It's ridiculous,
25 especially the infrastructure. If you build the

1 infrastructure then of course, people are going to go
2 in because the infrastructure is there.

3 And I don't know of a study that has been
4 looked at in inundation in New Jersey and in New York,
5 but that should be done. And it's pretty hard to,
6 especially for someone from California, to talk to a
7 New Yorker. I know, because I'm married to one. And
8 honestly the pizza is not that good there, but and the
9 hockey team is worse. But the point is it's really
10 hard to tell them, but that should be done.

11 Now I'll share something with you. Howard
12 Foster and I, working on another project, we've
13 designed an information system to help in a disaster.
14 You know, how do you -- because what we realized, what
15 we learned in disasters is that there's either too much
16 information, it's not well synthesized, people are in a
17 panic anyway. The alarm is going off and people don't
18 work very well under panic situations. So in another
19 NSF-funded project, we looked at an information
20 infrastructure that would help solve problems during a
21 disaster.

22 And then I was invited to New York to see the
23 new center. I mean the old Emergency Center was in the
24 World Trade Center, which was kind of stupid, because
25 the heart or the brain of the beast went out right

1 away. It was gone. So they moved it out to Brooklyn.
2 Now that was a good move, because no one's interested
3 in Brooklyn. But I went out there and I saw what they
4 built. And what they built is wonderful technically,
5 but somewhat dysfunctional, because they didn't solve
6 the people problem.

7 So I didn't know that the NYPD do not talk to
8 the FDNY. They do sporting events with each other and
9 they turn into pretty tough brawls, but they really
10 don't cooperate. And the emergency people that sit
11 actually between them, in the same center, and they're
12 the -- and after looking at that I said, "How are these
13 people going to solve any disasters?" So that it
14 hasn't worked its way back to planning and I don't
15 know. It's awfully easy politically, to throw rocks on
16 the side of a levee. It makes it look like you've
17 armored it, but some of our engineers argue that rocks
18 on the side of an earthen levee will help the levee be
19 destroyed faster.

20 MR. SHOW: Well, Andy from ICF will speak to
21 what you just said about the fire departments, the
22 police and all of them talking. So that is happening
23 in California to some small degree.

24 MR. BIGING: It is, yeah no it is happening
25 in California and probably because we have more

1 disasters, so that beautiful slide Dan had up there of
2 California matters. And I was thinking, "We probably
3 have more disasters more frequently than they do back
4 East." Sandy was -- no, they had Irene and they had
5 Sandy, but for the most part the biggest disasters are
6 financial. And the fire department doesn't get
7 involved in that and the police department doesn't
8 either, too bad.

9 But we do cooperate, but the best cooperation
10 -- my wife just wrote a book, actually its coming out
11 this week I think or next week, and it's about this
12 very thing, this risk management information systems.
13 And she found the best one was the Olympics in
14 Vancouver was the most impressive system, because it
15 worked and they all cooperated. But that's it. You
16 can design the perfect system, but if they won't
17 cooperate it's just not going to work.

18 But actually, so Howard and I learned a
19 lesson. And we found that organizations out here do
20 try to cooperate, but we actually also realized that
21 too much information and not well understood
22 information by all in the system, in the very complex
23 system, can be your Achilles heel. You know, so and we
24 will have something coming out that will talk about
25 what we think a better strategy might be so that we

1 don't have organizations clashing, that they actually
2 complement each other. That got off topic, sorry yeah.

3 MS. KORESEC: We did have one question from
4 one of our online participants, from Andy Brown. "Has
5 the modeling for storm events included midwinter
6 pineapple express events with rain-accelerating
7 snowmelt and runoff and resulting mountains to Delta
8 Bay flooding?"

9 MR. BIGING: Well, we haven't gotten there
10 yet. We haven't done the modeling yet, but thank you
11 for the question and we'll consider that. No, we
12 actually are looking at storm events with water coming
13 from both directions. And we're finding out an awful
14 lot about how you prepare for or how the utility
15 companies prepare for extreme storm events. And
16 actually they do a lot. They actually prepare, they
17 put the troops in place ready for the worst disaster
18 possible, which is really reassuring.

19 MS. KORESEC: All right, our next speakers
20 are Todd Esque and Ken Nussear.

21 MR. ESQUE: Great, let's see here. Right,
22 okay thanks. Okay I've got about ten slides that are
23 going to set up several general concepts about how
24 endangered species, climate change and renewable energy
25 are relevant to this group here today. And then I'm

1 going to turn the podium over to my colleague, Ken
2 Nussear.

3 You might ask yourselves how is this
4 relevant? How are endangered species relevant to
5 climate change and renewable energy? And I'm really
6 glad I sat through the previous talks, so that I could
7 come up with a reason for that. This is a really good
8 introduction to the aspects of this that are
9 interesting and important to this group.

10 Endangered species, the most straightforward
11 way to handle this question is that endangered species
12 have to be considered in our planning for our renewable
13 energy infrastructure. So we just heard a lot about
14 planning and how important that is in the
15 infrastructure and how important the infrastructure is.
16 And part of that planning actually is built in with the
17 endangered species and protected species involved,
18 because in order to be in compliance with the laws that
19 we have to protect the environment we have to consider
20 these species in light of the infrastructure.

21 And just a second please, so as far as
22 compliance goes we have to know about the species in
23 order to know if we're in compliance. And from my
24 experience many of these species are relatively static
25 on the landscape. The information that we have is a

1 static geographic area. When we add climate change to
2 the equation we have to accommodate the movement of
3 these species for the perpetuation of those species
4 across the landscape.

5 And so bringing all these three together,
6 they're integrally tied so that we're going to show you
7 today how this one species, the Mojave ground squirrel,
8 depends on these factors. I have a variety of people
9 who have worked on this highlighted at the bottom here,
10 people from the University of Nevada, Reno: Thomas
11 Dilts, Peter Weisberg and Marjorie Matocq as well as
12 Phillip Leitner, an independent scientific consultant,
13 and then Rich Inman also from the USGS.

14 To keep the momentum going I'm going to pass
15 over this, because we have this archived, this talk
16 archived. And all of the agencies have stewardship in
17 the California Desert have contributed information in
18 the way of data about the squirrels and about their
19 habitats and as well as many academicians. So the
20 California Energy Commission asked us to, using the
21 best available information, to develop current and
22 future habitat models for the Mojave ground squirrel,
23 which is one of the state-listed species, state
24 protected species to evaluate gains and losses of
25 habitat and genetic diversity in response to climate

1 change and to evaluate habitat connectivity and all of
2 this in relation to renewable energy.

3 So the background on this particular species,
4 and then we're going to broaden things out a little
5 bit, is that its listed as a threatened, under the
6 California Endangered Species Act. And then in 2011 it
7 was petitioned for federal listing, but wasn't
8 warranted as a protected species under the federal law.
9 But it is under the state law, so it has to be
10 considered in the environmental compliance for
11 renewable energy projects.

12 It has a very restricted distribution. It
13 has extensive impacts on the landscape including lots
14 of human development in the West Mojave Desert, direct
15 habitat losses and road construction mortalities.
16 Cumulative impacts to landscape level disturbances,
17 including off-road highway vehicle use, agricultural
18 development out in the West Mojave, and a great number
19 of military operations leading to what's perceived as
20 reduced populations and habitat connectivity of
21 suitable habitat.

22 So in order to approach this problem of
23 understanding how this species and other endangered
24 species or protected species can be understood in light
25 of what's going on across the landscape, there's an

1 abstraction called Niche modeling. And this concept
2 has been around for about 100 years, developed
3 originally by Joseph Grinnell just about 100 years ago,
4 over at Berkeley. And in this case he was studying the
5 California Thrasher. This photograph is a closely-
6 related species, the Le Conte's Thrasher. And it
7 really boils down to what Grinnell was interested in
8 was how these species can coexist and almost
9 overlapping, but not quite. And having very similar
10 requirements and not essentially running over one
11 another.

12 And it started out mostly as biological
13 considerations among closely related species. But this
14 concept of niche caught on very rapidly and created a
15 huge amount of research in ecology and was adapted in
16 many different ways, so that we started looking at the
17 relationships among species in how they acquired food,
18 the predators that they had, their other competitors
19 like we already talked about.

20 And more recently we've added what's
21 considered to be biophysical envelope. So we've taken
22 the biological aspect of all these activities and added
23 aspects or factors like temperature, precipitation and
24 soils creating the biophysical envelope where any
25 species lives. And basically a species has all of its

1 requirements for all of its life stages must be met
2 within this set of factors that is the niche. On top
3 of that we have some of these physical factors are
4 short term, which affect individuals and populations
5 like with weather. And in the long term its climate,
6 so this brings us back around to the longer-term
7 version, which now we'll look at.

8 The details of the names on this graph here
9 are not so important, but on the X-axis here we have
10 the number of specimens identified in a given site. So
11 each one of these little bars, these polygons here are
12 actually an individual species and its own graph in its
13 own right and on the left margin here we have the
14 carbon dating year before present. So we start at
15 zero, which is present right here, all these different
16 species occurring at a site in relative, different
17 relative abundances. This one relatively rare, this
18 one over there on this side a little bit more common.

19 And what we can see is through time to the
20 last 20,000 years the relative abundance of these
21 species at one site in the desert. This is near a
22 place called Rock Site in the Armargosa Desert, which
23 is near Death Valley. And so at just this one point,
24 the species have varied in their abundance through time
25 quite a bit. What might be surprising to you is that

1 the three species on the right over here: the Joshua
2 Tree, bursage and the Creosote Bush are really
3 relatively recent arrivals even though we define the
4 Mojave Desert by those three species essentially.
5 Anybody that's talking about what grows in the Mojave
6 Desert is going to use those species to define it. And
7 those have just come here in the last several thousand
8 years.

9 Also species vary through time dramatically.
10 So looking through a very long time period at the peak
11 of the last ice age, the Joshua tree, our icon of the
12 Mojave Desert was focused down here in Southern Arizona
13 and we know this from fossil record. And then, of
14 course more recently this is the recent, just the
15 current distribution of the Joshua Tree in the Mojave
16 Desert. And so we have great fluctuation of these
17 species through space and time.

18 This factor, this plate of slides introduces
19 vicariance factors for various species across the
20 desert. And vicariance is a term borrowed from
21 biogeography basically meaning fragmentation. And so
22 there are lots of different factors. It started out
23 with plate tectonics. And so when there was one large
24 landmass where species were distributed across, broke
25 up and moved around, we had fragmentation of the

1 species. And then over time there was speciation and
2 we had different species.

3 This panel of small graphs here, six graphs,
4 starts out at basically 9 million years before present,
5 than 4, 2, during the middle of the ice age and then
6 6,000 years ago and then present. And we have
7 different vicariance factors, including in this case
8 the Bouse Embayment, which is this water body that came
9 up through the Colorado River drainage. Also the
10 Transverse Ranges then at about 4 to 2 million years
11 ago rose up creating some basins and some mountain
12 ranges. In this case the Colorado River still left
13 over after the sea level dropped and the Colorado River
14 became more prominent.

15 During the ice age we had pluvial lakes
16 throughout the Mojave Desert and the great basin that
17 created vicariance events for different species across
18 the landscape. And today we have the Mojave River
19 still somewhat a factor, but not nearly as much as it
20 used to be. Then we moved up to present here.

21 Well, I'm going to go back to for a second
22 here. So one more part about these graphs is that we
23 start out with these two main boxes on the first graph
24 way back in time, which represents groups of actually
25 vertebrates in this case, that are separated by the

1 Bouse Embayment. In this case we've got, at that time
2 we had the Joshua Tree, and the moth that's an obligate
3 pollinator over them, and the fringe-toed lizard which
4 lives on the sand dunes on this side of the embayment.
5 And we had another group of them over on this side.
6 Also we have the Mojave ground squirrel and its closest
7 relative, the precursors of the Mojave ground squirrel
8 and the round-tailed ground squirrel living on this
9 side of the Bouse Embayment.

10 With time these animals moved through, moved
11 across the landscapes and then these vicariance factors
12 separated them through time, isolating them and then
13 ultimately resulting in six different groups of species
14 broke up. So we have the fringe-toed lizard started
15 with a single precursor. In the end there were several
16 species of those lizards based on these vicariance
17 factors.

18 So that brings us up to present day. And at
19 this point we're looking at a subset of the Mojave
20 Desert here with a lot of the infrastructure for our
21 society imposed upon it with urban areas in purple,
22 proposed sort of developments in red, exit urban areas,
23 former ag lands in yellow, quite a bit of that,
24 proposed wind developments in blue especially over here
25 in the far West Mojave and the major road

1 infrastructure along which many of our pipelines. And
2 then on top of that we have transmission corridors,
3 especially right through this area.

4 So now we've come up to speed on the
5 infrastructure that's available at the current time.
6 And the question has come up to what extent are these
7 features on the landscape that we've introduced
8 vicariance factors for these species? And how that
9 relates to, as animals respond and when we see all the
10 things that have been explained this morning in the
11 talks about climate change, all these changes happen.
12 In order for species to continue to exist they're going
13 to have to change and follow the physical temperature
14 and rainfall amounts that they need in order to be able
15 to exist on the landscape. They're going to have to
16 follow them across the landscape. Will they be able to
17 follow them in spite of these types of challenges that
18 are on the landscape?

19 And at a closer view we have things like the
20 utility lines have other factors. From a 15-mile up
21 view it doesn't look like much of a landscape, but when
22 you get down right into it you're on the roadsides
23 underneath the utility corridors. We're seeing that we
24 have trash dumped in these areas, increased access to
25 these areas and which brings in things like subsidized

1 predators, which have been well-identified as a problem
2 for a lot of these species. And so at this point we're
3 pretty sure that there are, we know that are issues
4 related to these with some of these protected species.
5 And at this point we're going to drill down a little
6 bit closer to what this means for the Mojave ground
7 squirrel, which is prominent in the West Mojave.

8 MR. NUSSEAR: So I just want to talk a little
9 bit about the habitat model. In order to model climate
10 change and its effect on this species relative to
11 environmental factors and renewable energy development
12 we needed to understand its current state of habitats
13 suitability and what drives it. Prior to our work
14 really there were, I think four to five core habitat
15 areas identified and a lot of dots on the map. And
16 that's really what we started the project with.

17 We've done some habitat modeling for other
18 species before and we thought that a potential habitat
19 model for the Mojave ground squirrel would be a really
20 good place to start. And in this work the initial
21 habitat model was recently published in February in the
22 Endangered Species Research and the citation is there
23 at the bottom. And it involved modeling of the habitat
24 suitability and which is really just in a way,
25 correlations between known locations and environmental

1 factors that we think are important to the species.

2 And so what that is then is, you know, we sit
3 down with who knows the species and all we know about
4 desert biology. And we say, "Well, we have to have the
5 right temperatures. Do we have the right
6 precipitation, the soils have to be right to grow the
7 plants, which grow food and cover for the animal,
8 whether or not there are predators or disease outbreaks
9 in a given area."

10 And then we have to consider are we concerned
11 about fluctuations in rainfall or average rainfall? Is
12 it minimum temperature that's important in the winter
13 or is it how hot it gets in the summer? And so we
14 wrestle with a lot of those things and then we have to
15 ask, "Well, what on what time scale does that matter?
16 Is it a daily fluctuation in temperature that's
17 important, is it seasonal rainfall, is it inter-annual
18 drought, is it Decadal El Nino events?" So all these
19 factors have to be considered and we wrestled as a team
20 of six I think on this one quite a bit on getting these
21 right.

22 And then once we got them all right and we
23 ran out into the Internet to try to get these layers we
24 have find out well half of what we want, to model a
25 species habitat, isn't there. And so a lot of the

1 projects that we start with involve building what we
2 need ourselves and some of those layers are what we
3 used in that. And each of these layers then becomes,
4 we think, something important in and of itself. And
5 what we've done with these layers, and layers
6 associated with our other projects, is to make them
7 available publicly as USGS product on the database and
8 website. So that anyone else that needed a layer like
9 this to model something else could use them. And so
10 those are available now.

11 So environmental layers when you think about
12 it, are GIS layers. And we stack those up and we do
13 math on them. We do quite a lot of math on them, more
14 than it looks like here. And in the end we want it to
15 be simple, but we want it to model well.

16 For the ground squirrel we ended up with four
17 layers that we could use to really get a pretty good
18 model for these guys. One of them is the surface
19 texture, which is a model we developed using the remote
20 sensing and the texture of the surface of the sort of
21 the geological surface. We used Surface Albedo, which
22 tells us a little bit about the components of the
23 structure of that surface.

24 And then we looked at two things that we
25 think were important for current and future climate.

1 One of them was the mean winter climatic water deficit
2 and what that is, is how much rain went in and how much
3 evapotranspiration went out with plant growth involved
4 and what's left. And then that involves, of course,
5 temperature as well as precipitation. And then
6 precipitation itself was one of the raw valuable
7 variables that came up.

8 Now we put in a lot of other things. In
9 fact, we ran 80-plus models with all kinds of
10 combinations of more things than I can list. And, you
11 know, the two biggest questions we'd get are, "Well I
12 know elevation's important, because when I go out
13 walking around the Mojave Desert I climb the hillsides
14 and the squirrels are never there." And that's true
15 and it turns out that some people tell you that
16 vegetation's very important, that definitely needs
17 these species of spiny hopsage and whatever else to
18 exist upon it.

19 And those may well be true as well and we did
20 try those, and in fact elevation is a great thing to
21 model with that. We've seen that in a lot of species.
22 The trouble is if your intent is to consider future
23 climate change, elevation is wrapped so tightly around
24 changes in temperature and precipitation that it's
25 really difficult to unravel what the effect of any of

1 those things alone is. So you probably could get them
2 as good predictors, but they interfere with modeling
3 future climate habitats for a given species. And so we
4 tend to try to build the best model we can without them
5 and ask what does forecast climate change look like?
6 And it turns out if you add these two in, the model
7 doesn't perform any better, so we get a good model with
8 just what we did.

9 So one of the first things we learned was
10 that the core areas, these are just to give you an
11 orientation on where we're at, how does this work?
12 Button, oh okay so this blue depiction on the map is
13 the predicted Mojave ground squirrel suitability given
14 these four factors. And the one thing we noticed
15 initially was that, you know, these four core areas
16 that were given for this species is really an
17 underrepresentation of the region of the species in the
18 West Mojave Desert.

19 We got a little more information out of it
20 when we added impact scenarios, so what an impact
21 scenario is, is we take all of the agriculture, all of
22 the known roadways, infrastructure, urban areas and
23 those kinds of things and we put them on the landscape,
24 not completely excluding squirrels, but degrading
25 squirrels differently. So, you know, an open

1 agriculture field may not degrade habitat as much as a
2 parking lot and that's all considered in here.

3 And when you look at what happens to that
4 landscape after fragmentation you can see that we've
5 got big sort of cuts across this creating sort of these
6 big vicariance potentially, cuts and fragmenting the
7 habitat. And then we do end up with sort of this core
8 area, this core area, this core area and one up here.
9 So in a way the core area idea is naïve, but in a way
10 it's insightful. But I think probably not drawn to
11 scale, right?

12 So our initial habitat suitability results
13 gave us the idea that presently 16 percent of the
14 historic habitat, which was the panel on the left is
15 impacted or lost to urbanization, which is right now
16 starting out of the gate. In the future just with the
17 renewable energy added to it we may find ten percent
18 more of that area lost. So a total of 26 percent of
19 what we think under current climate conditions could be
20 there is either gone or likely to be gone given the
21 current permitted facilities that are projected to be
22 there.

23 The model's illustrated that habitat
24 suitability, which is sort of the scale of how suitable
25 a given spot was in higher in areas that are predicted

1 or are sort of slated for renewable energy development
2 then in the surrounding areas. That is some of the
3 better habitat is under the proposed footprint of some
4 of the future projects, especially wind I think in this
5 case. And we think that the information in this
6 suitability model can be used to guide and develop
7 sampling designs for monitoring effects of climate
8 change of renewable energy, of anything that you're
9 putting out there. But not only that to evaluate
10 corridors and potential impacts of climate change and
11 I'm going to step into that piece next.

12 Ultimately the hope that this can be used to
13 inform development and planning upfront, so that we
14 don't go down a road, take a bunch of habitat and then
15 say, "Oh gosh, we really did the wrong thing. Or we
16 really need to learn from that and now we have a
17 monitoring plan to understand how bad it is." Rather I
18 think if we could think up front about what do these
19 guys tell us, where should we look now and let's be
20 proactive about where we put things, I think is what
21 we'd like to take away from this.

22 So the future climate scenario came up.
23 There is generally four emission scenarios out there,
24 well there's more now, but when we started there were
25 only four back in the stone age. And these came from

1 the Intergovernmental Panel on Climate Change at IPCC
2 Assessment Report. And we used two of those and we
3 picked the A2 and the B1, because they represent sort
4 of moderately high and pretty low scenarios. So we
5 wanted to bound the problem of how little or how much
6 impact we thought there might be. These were coupled
7 with a GCM and we used the GFDL CM 2.1 to evaluate the
8 potential impacts of climate change for the squirrel.
9 So we used two scenarios, 1 GCM and two time steps.
10 That's a lot of numbers in the end.

11 So this is just to give an idea of one of the
12 things that we had to do right off the bat. Was in
13 order to model habitat well you kind of have to contain
14 the area to just that surrounding your points, because
15 you get a lot of noise if the farther you reach out the
16 more sort of fluff you put into your model and it gets
17 really noisy. But in order to model climate change
18 well you have to expand your search area out beyond
19 where it is. Otherwise you see it running off the map.

20 And we did that and so we had to build sort
21 of this in our initial footprint. We had to build
22 another footprint even bigger to get out into areas
23 that we thought would be likely to contain future
24 habitat. And it could be that maybe, you know, we
25 needed some more out here, but we didn't think so. And

1 so that's one potential weakness maybe to the plan or
2 maybe a strength, it remains to be seen.

3 So the numbers aren't too important here.
4 What's kind of important here is that we did at two
5 time steps in the future. One is 2030 and one is 2080
6 and these both happen to be for the A2 scenario, which
7 is sort of the moderately aggressive one. And what we
8 found was that by 2030 a lot of our current habitat,
9 which is this white area that we saw before is now
10 recessed back into what's predicted to be habitat here
11 in the green for 2030.

12 Now there's another kind of thing that
13 happened, which was that we started to see footprints
14 of new habitat occurring, which is given here in blue
15 out on these fringes where these squirrels don't
16 currently exist and are quite far from it actually.
17 And so in 2080 we see that sort of current body of
18 habitat retreat a good bit more up into the sort of the
19 foothills of this mountain range. And then by and
20 large most of the predicted future suitable habitat by
21 2080's out here where squirrels don't currently exist.

22 So I think what we see is that given the
23 changes in climate, and this is the case for the other
24 scenario as well, there is a fairly large reduction in
25 the amount of habitat available to the squirrel. And

1 it takes what's a big sort of interacting mass of
2 populations within the area and restricts them to a
3 very narrow corridor running north-south along the left
4 side of the current habitat footprint.

5 So one of the things we thought about with
6 that future habitat being way out on the east side was
7 could squirrels even get there, you know? So this is
8 2030, we still have a pretty big body of habitat here.
9 But then we were concerned that all of this stuff out
10 on the east side although predicted to be within the
11 suitable envelope of their capability maybe quite
12 outside their dispersal range.

13 So we did two things: one of them was a
14 simple dispersal model where we used sort of a
15 displacement that they could do on a given season and
16 then model that out over the number of years there
17 were. And, you know, leaving from where they were
18 could they get across? And so the blue area indicates
19 a very simple dispersal model where they probably could
20 and the red indicates probably not. So even though we
21 have a lot of habitat predicted to be up here we don't
22 think that in the amount of time the squirrels had up
23 until 2030 that they could get there.

24 This doesn't take into account limitations of
25 habitat due to the fragmentation, because we don't

1 really know the numbers on how that reduces movement.
2 And the other thing it doesn't take into account is
3 that the fact that Death Valley is running right down
4 the middle of all of this, so one of the chapters in
5 our report talks about connectivity and more of a
6 stepping stone model where the squirrels are really
7 limited from habitat patch to habitat patch. And what
8 that analysis shows is that really the left-side
9 corridor of all of this is really going to be the only
10 viable conduit by which squirrels can adjust to these
11 changes in climate.

12 This chart shows both scenarios for 2030 on
13 the same map, so yellow is the B1 only and the darker
14 sort of red or salmon color is the A2 only and orange
15 is the one that we were interested in. And that is
16 where do A1 and B2 overlap at this time step? And we
17 felt that would be a fairly conservative bit of habitat
18 to worry about, because that's where under either the
19 most optimistic or the most pessimistic climate model
20 we think squirrels are going to be there. And so these
21 orange areas we think are pretty key areas to look at.

22 We also imposed urban infrastructure, which
23 is these roads. The blue are predicted, proposed solar
24 facilities and the orange -- or I'm sorry, the green
25 color in here are predicted wind facilities also down

1 in here. And then the gray are power line corridors
2 that we talked about. If we zoom in on that important
3 corridor area that I was talking about on the west side
4 if we can back, let's see go back a slide here, that's
5 this area right in here. We can kind of get a better
6 view of the level of impact that we're talking about
7 with respect to some of the wind facilities.

8 And although the wind facility may allow
9 squirrels to exist underneath and in between we think
10 there's a substantial amount of fragmentation that can
11 occur. Especially when you start adding the
12 transmission corridors and other things going on here,
13 so that the areas that are predicted to be sort of core
14 areas of habitat in the future are pretty well
15 inundated and especially cutting off the northern and
16 southern extents of the predicted suitable habitats,
17 such that that western side of the map could be
18 problematic with respect to connectivity for the
19 species.

20 So in summary we created a habitat model for
21 current conditions estimating current anthropogenic
22 impacts. We constructed it with the idea that we could
23 enable the inclusion of future climate forecasting to
24 predict future habitat for the species. And then we
25 identified key areas of habitat loss and areas that

1 might be considered to be important for future
2 connectivity. And we think we'd like to hope that this
3 provides information for future planning efforts of
4 utility scale renewable energy development. So that we
5 can sort of run-off future listing problems and future
6 compliance problems with endangered species acts while
7 we're planning, and before decisions are made in the
8 absence of knowledge.

9 Lastly this is just one species and so we've
10 been working with a consortium of scientists to look at
11 multi-species considerations. And so this particular
12 is just published work that we did with Amy Vandergast
13 and others. And this shows the genetic hotspots or
14 genetic diversity of 17 species across the Mojave. One
15 of them is here. In fact two of the hotspots are here
16 right where the squirrel is in fact there.

17 And so not only do we find important habitat
18 for the model of the ground squirrel there, but we find
19 areas in the desert that are overlapping these areas
20 that show patterns of key genetic diversity and
21 divergence for multiple species all at once. And so we
22 think that a bigger, broader view of more species than
23 one at a time may give us some reason to stop and
24 think. And one of the things that we're excited about
25 is that the DRECP is actually doing that and they're

1 using the information, this information and other
2 models that they're developing and that we're
3 developing to make decisions about where to place key
4 energy.

5 So that's the references are at the back if
6 you guys wanted to look up any of the papers that we
7 cite and thanks very much.

8 COMMISSIONER DOUGLAS: Yeah, I guess I don't
9 have a question, because I did get a pre-briefing on
10 this work. I just wanted to say that I appreciate the
11 presentation. There's obviously a tremendous amount of
12 work that goes into it. And as you point out this is
13 the kind of information that really can form the
14 underpinnings of a planning effort around looking long
15 term and looking at species conservation climate change
16 renewable energy, which we're doing in the DRECP. So
17 anyway, I really found that to be an interesting
18 presentation. I appreciate it.

19 MR. NUSSEAR: Thank you.

20 MR. ESQUE: Thank you.

21 MS. KORESEC: Do we have any questions from
22 the audience? All right, let me get that.

23 MR. CAYAN: Ken?

24 Mr. NUSSEAR: Yes?

25 MR. CAYAN: Dan.

1 Mr. NUSSEAR: Dan.

2 MR. CAYAN: So in evaluating the dispersion,
3 dispersal characteristics was this the Flint's 30-year
4 sort of fixed time climatologies or were you looking at
5 year by year, day by day?

6 Mr. NUSSEAR: No, no, it was one 30-year time
7 step and then imposing an annual dispersal distance on
8 top of that. We'd like to do a year by year, day by
9 day, but we just don't have the data.

10 MR. CAYAN: So here's a dumb guy question
11 about dispersion. So I'm reminded of Thor Heyerdahl,
12 who set out to demonstrate that you could go from one
13 side of the Pacific to the other. And the thing about
14 him was that if he was constrained by the mean wind
15 field and currents and so forth, he never would have
16 made it. But what he did was he waited for the right
17 synoptic, you know, or probably El Nino or something or
18 something like that.

19 So what I'm wondering is whether you would
20 derive the same answer for whether a ground squirrel
21 can get from A to B if you actually had all the
22 variability from one year to the next. My impression
23 from my garden is that there's certain times where I
24 have these invasions and then other times, you know --

25 Mr. NUSSEAR: Yeah, I think the answer would

1 be different and we would like to spend the time to get
2 there. And we have done some of that more in the
3 connectivity chapter, not with annual predictions of
4 climate change imposed yet. But with infrastructure
5 and things like that modeled in, so we're working on
6 getting there. And we recognize the value of that,
7 we're not there yet. We're working as fast as we can
8 though.

9 MR. CAYAN: Okay, and not a criticism, I was
10 just trying to understand. So the other question was
11 this very linear distribution of the new settlement or
12 whatever you call it. Is that a hydrologically defined
13 area, is it temperature, is it --

14 Mr. NUSSEAR: That's all four things put
15 together. We do have some maps that we can do and I
16 don't know, you know. Generally in any given pixel we
17 can ask what's the limiting factor or what's the
18 greatest limiting factor and we have those kinds of
19 analyses that we do in there. And, you know, it could
20 be that the west line has got a different limiting
21 factor than the east line. I suspect that it does and
22 so, you know, any given spot might have a different
23 factor that limits that causes that to be the same
24 shape.

25 MR. CAYAN: Yeah, it's just so distinct that

1 you would think that there was something relatively
2 similar going on along that line.

3 Mr. NUSSEAR: Yeah, it could be. I mean, but
4 I think on the eastern slope over near Pahrump, Nevada
5 and on the east side of Death Valley that we see a lot
6 probably of influence of that climactic water deficit.
7 That's a lot flatter habitat and tends to be more open
8 facing slope for evapotranspiration than you would see
9 on the eastern slope of the Sierra like you there. So
10 it's probably different even though I think that they
11 follow the same general route.

12 MR. CAYAN: Okay.

13 MS. KORESEC: All right, Joe Weisenmiller.
14 We were originally scheduled to take a break this
15 afternoon, but we're running about 20 minutes behind.
16 It is okay for us to just power on through and have
17 people take a break as they need?

18 CHAIRMAN WEISENMILLER: Yeah, we'll power on.

19 MS. KORESEC: Thank you. All right we're
20 going to move on now to our next section, which is on
21 energy sector responses. And our first speaker is John
22 Maulbetsch.

23 MR. MAULBETSCH: Well as I think Monty Python
24 said, "Now for something completely different."

25 We did get a pretty good setup this morning.

1 Somebody said it's always good to follow predictors,
2 people who paint crisis scenarios, but we learned that
3 things are likely to get hotter. And we learned that
4 when things get hot, people tend to want more energy
5 and more electricity. What maybe hasn't been said yet
6 is that when it gets hot, power plants have a harder
7 time. Most power plants have a harder time on hot days
8 with reduced capacity and reduced efficiency. And so
9 what I'd like to talk about for the next few minutes is
10 why is that true and what can be done about it.

11 The answers depend on first on the type of
12 plant we're talking about. If we're talking about
13 peaker plants with combustion turbines that's one
14 reason, if we're talking about gas-fired steam plants
15 that's another and if we're talking about gas-fired
16 combined cycle plants it's a combination of the first
17 two in all likelihood. And it depends on the type of
18 cooling system.

19 The reason power plants have a hard time on
20 hot days is for most of them, related to the fact that
21 cooling systems have a harder time rejecting heat when
22 it's hot out. And if they can't reject the heat, they
23 can't condense the steam coming out of the turbines as
24 well and the back pressure on those turbines increases
25 and the characteristics of steam turbines are such that

1 as the back pressure goes up, the output goes down and
2 the efficiency goes down.

3 So we can talk about various types of cooling
4 systems. And let's start in the lower right-hand
5 corner, I guess. Once-through cooling systems which in
6 California are mostly ocean-sided plants depend on the
7 temperature of the intake water, and in case of the
8 ocean that's reasonably constant, although it does vary
9 seasonally.

10 If we're talking about plants with cooling
11 towers where cooling water, instead of being drawn out
12 of something like an ocean, run through the plant and
13 put back at a higher temperature, the water is re-
14 circulated. And it is cooled in the course of that re-
15 circulation by evaporating some of it to cool the rest
16 of it, and the remaining cooled water is circulated
17 back to the steam condensers that's what most -- not
18 most plants in California, but most plants in the
19 United States now operate on either the once-through
20 cooling or the closed cycle cooling towers.

21 And in the absence of the availability of
22 water for cooling we have been going to dry cooling,
23 where the heat is rejected directly to the air. And
24 there are some of those in California.

25 The upper left-hand corner we're looking at

1 an air-cooled condenser down at Otay Mesa. And we'll
2 talk in a while about hybrid cooling systems where we
3 have a combination of dry systems and wet systems. And
4 they are used to maximum benefit as the conditions
5 permit. There are none of those in California at the
6 moment. I suggest that there will be.

7 So if we take those different types of plants
8 and those different types of cooling systems and we put
9 a California focus on it, let's talk about gas-fired
10 plants either combustion turbines alone, as mostly
11 peaker plants or gas-fired combined cycle. And since a
12 major interest of the Commission and the State at large
13 is water conservation let's start out with the use of
14 dry cooling.

15 Start first about just the gas turbines. The
16 reason gas turbines don't perform as well on hot days
17 is because they are what's referred to as a constant
18 volume flow machine. In other words there's a certain
19 volume of air that gets through the compressor to be
20 combined with the fuel to generate the heat to run the
21 turbine. As the temperature goes up, the density of
22 the air goes down. And so a constant volume of air has
23 less mass that goes with it. So the mass flow of air
24 through the turbine goes down. So air temperature goes
25 up, mass flow goes down. As the mass flow goes down

1 the energy output from the turbine also goes down.

2 It shows here, if we go from say 50 degrees
3 Fahrenheit, which is 59 degrees I think is the standard
4 design point for these things at around 100 percent
5 turbine output if we get up to 110 degrees, let's drop
6 down to close to 80 percent. So there's a significant
7 reduction.

8 There's another line on there that suggests
9 ways that that can be counter acted. You can increase
10 the mass flow through the turbine by injecting steam
11 and people do that. It consumes water and it costs
12 money to produce the steam, but it does increase the
13 turbine output at a given inlet temperature. On the
14 other hand it does also decrease for a fixed percentage
15 steam injection, as temperature goes up. S o the effect
16 though at a higher level still remains.

17 The other thing you can do is say, "Well, the
18 ambient temperature's gone up, maybe we can do
19 something about the temperature of the air that the
20 turbine actually ingests." And so there are schemes
21 for cooling the inlet air to the compressor. A common
22 one of these is so-called inlet spray cooling where
23 high pressure nozzles are arrayed in front of the
24 compressor inlet, water is sprayed in, high pressure,
25 tiny little droplets. Those tiny little droplets

1 evaporate in the air stream, the temperature of the air
2 goes down and so for a constant volume flow the mass
3 flow goes up. There's a little bit of mass associated
4 with the water that was sprayed in. And you can, in
5 effect, move back up to the left along that temperature
6 curve by driving the compressor inlet temperature down
7 below the ambient temperature and increase the output.

8 You can provide that same effect without
9 spraying water in there with some kind of refrigeration
10 system. You can put an inlet chiller on the front of
11 these turbines, reduce the temperature of the inlet
12 air.

13 There was an article in the issue of Power
14 Magazine that arrived in my mailbox just a couple of
15 days ago that showed a way of doing this that maybe is
16 widely use. I just hadn't heard of it. In which many
17 of you know there are two kinds of refrigeration
18 systems: one is vapor compression, which is run by a
19 motor and a compressor and the other is absorption
20 refrigeration, which is heat-driven. And this was a
21 scheme where you took heat out of the stack gas, used
22 it to run an absorption refrigeration system, cool the
23 inlet air and drive the turbine output back up.

24 Okay, so that takes care of the turbines, the
25 combustion turbines. If we combine those with the

1 steam cycle for a combined cycle plant, and these are
2 the common types of new plants that are being built
3 most places in the country these days: gas-fired
4 combined cycle where the gas is burned in a combustion
5 turbine. The hot gas out of the turbine is used to
6 raise steam, put through a steam turbine.

7 The hot day problems here are compounded. We
8 get the reduced gas turbine output that we just talked
9 about. If the mass flow through the gas turbine goes
10 down then the energy input to the steam turbine, which
11 is extracted from the gas turbine flow, goes down. And
12 if you want to keep the plant output constant, if the
13 combustion turbine output is going down, you try to do
14 something to increase the output from the steam turbine
15 and that puts an additional load on the steam turbine
16 cooling system. And the steam turbine efficiency can
17 go down.

18 Here's a brief schematic of what I just said
19 where you've got the gas turbine putting hot exhaust
20 into the heat recovery steam generator. High pressure
21 steam is produced, goes down to the steam turbine, run
22 through a turbine, condensed, returned back to the heat
23 recovery steam generator.

24 Now if you can't keep the combustion turbine
25 inlet temperature down far enough through some sort of

1 inlet cooling you can burn a little extra fuel to heat
2 up the hot gas coming off the gas turbine in what they
3 call a duct burner. And that through the combustion of
4 additional fuel increases the heat into the heat
5 recovery steam generator, produces more high pressure
6 steam and so you shift the load on the plant from the
7 gas turbine to the steam turbine.

8 If you do that, of course, you increase the
9 amount of steam that has to be condensed. You increase
10 the heat load on the cooling system and now the effect
11 of the hot day is whatever effect it has on the steam
12 condensing cooling system.

13 If we start with dry cooling, and this is an
14 example of an air-cooled combined cycle plant, that
15 large structure on the left-hand side is the air-cooled
16 condenser. It's interesting that its larger than the
17 rest of the plant. These things are big. You've got to
18 have a lot of surface to transfer a lot of heat to hot
19 air. They work as follows and we're not going to spend
20 a lot of time on how they work, but you need to know
21 something about it in order to see how the various
22 schemes to augment their performance work.

23 Coming in from the left is steam from the
24 steam turbine. It goes up and through that horizontal
25 red duct at the top. Steam then flows down through

1 those heat exchangers, which are the sloping sides.
2 There are large fans at the bottom that blow air up and
3 across those heat exchangers. And most of those
4 sections, the red ones, the steam comes in at the top,
5 condenses, flows out a pipe at the bottom and back to
6 the boiler.

7 The blue ones are slightly different portions
8 of the ACC, in which any steam that's not been
9 condensed in the red ones gets pulled over to the blue
10 ones and it brings with it any air that's leaked in.
11 And air is very bad for the performance of these
12 systems and so that blue section is designed to extract
13 non-condensable gasses from the system and condense any
14 remaining steam.

15 What can you do to increase the performance
16 of that when it gets hot out? Well, we'll talk about a
17 few possibilities. Hybrid cooling in which you add a
18 wet cooling system in parallel with the dry cooling
19 system; spray inlet cooling, where you try to reduce
20 the temperature of the air going into the air cooled
21 condenser; a wet-enhanced dephlegmator. Dephlegmator
22 is the German word for those blue sections that take
23 the non-condensables out of this. I don't know, it
24 sounds like a German heat exchanger designer clearing
25 his throat. I don't know what it means. You can

1 deluge some supplementary cells and then we can talk
2 for a minute about wind effects.

3 Hybrid cooling, you have the air-cooled
4 condenser, which we just talked about on the right.
5 And on the left you have the possibility that the steam
6 off the turbine can go to condenser, a surface
7 condenser, which is cooled by cold water coming off a
8 cooling tower. And that cold water heated up when the
9 condenser goes back to the cooling tower to be cooled
10 again. It's a self-balancing system.

11 When it's hot out -- well, let's start at the
12 other end. When it's cold out all of the steam goes to
13 the air-cooled condenser, because the air is cold
14 enough to handle it all. When it starts to get a
15 little hotter and the pressure at the back end of the
16 turbine gets higher than you want it to be, you turn on
17 the cooling tower and the steam now flows to the
18 coldest place. So it splits. Some of it goes to the
19 surface condenser in the cooling tower. Some of it
20 goes to the air-cooled condenser. And it splits in the
21 proper proportion, so that the condensing pressure in
22 both of those units is the same. And you don't have to
23 do anything to control it. It just happens.

24 These systems manage to combine the benefits
25 of wet cooling and dry cooling in a way that they take

1 advantage of dry cooling when it's cold out. They use
2 wet cooling when it's hotter out. The largest system
3 in the United States at this point a large 750 megawatt
4 coal plant in Comanche. It's the Comanche station in
5 Pueblo, Colorado. And you can see in the lower left-
6 hand corner a wet cooling tower with about nine little
7 circular -- I guess I should be using this shouldn't I,
8 how does it work, like that -- a wet cooling tower
9 here, the air-cooled condenser here, steam goes where
10 it wants to go.

11 The benefit of these systems is that for a
12 750-megawatt plant if it were just a wet cooling tower
13 that tower would be at least twice as big as it
14 currently is. There is a cooling tower over there of
15 the same size for another unit on the plant and that's
16 only a 350-megawatt plant. If it were only a dry-
17 cooling system on this plant that would be about three
18 times the size that it currently is. So you can end up
19 with a combined system where each element is smaller
20 than it would be if it were used alone. It uses,
21 depending on how you design it, significantly less
22 water than if it were all wet. And it produces
23 significantly better performance on the hot days than
24 if it were all dry.

25 So that is, I think, sort of the coming trend

1 in water conserving gas-fired combined cycle plants.
2 And if you don't want to do that, you want to just have
3 dry cooling and use a little bit of water, you can
4 spray some water into the inlet air stream just as we
5 talked about on the inlet to the turbine in a gas
6 turbine situation. That's been investigated. There
7 have been some projects sponsored by the Commission:
8 one out at Crockett here halfway to San Francisco, one
9 at a plant down in Southern Nevada.

10 And for a few percent, a small percentage of
11 the amount of water used for an all wet system, you can
12 enhance the performance of these air-cooled condensers
13 on hot days substantially. Not as much as you can with
14 the wet cooler and hybrid system. And the use of the
15 water is not as efficient. Some of that water doesn't
16 actually evaporate and cool the water. Some of it
17 splashes onto the fan shroud and drips to the ground,
18 but it's a very low cost system. It's easy to install.
19 You can retrofit it onto existing plants and it'll get
20 you through the hottest days of the summer.

21 This is just some data taken on one of those
22 projects that suggests that at this point we know how
23 to predict pretty well how much you have to spray,
24 under what ambient conditions, in order to get a given
25 temperature reduction in the inlet air. And that based

1 on data from those two projects correlates pretty well
2 and it's a system that we know how to design and build.

3 There is another system that again was looked
4 at and studied under a Commission project. And that's
5 the wet-enhanced dephlegmator. And here you modify the
6 design of it slightly and you spray it up near the
7 top. And you can get significant increases in
8 performance not only of the dephlegmator section, but
9 of the entire ACC with a modest amount of water. This
10 shows for example, as the ambient temperature changes
11 from up to 40-degrees centigrade of the -- I'm sorry,
12 where do we go here? Yes, this the dark triangle there
13 is the performance at hot weather of the water-enhanced
14 dephlegmator system compared to a system where you
15 would put in 30 percent more cells on a standard ACC.
16 Without modification to the ACC you get a significant
17 drop-off of about 20 megawatts in the output with
18 either the cost of expanding it by 30 percent or
19 enhancing the dephlegmator section you appear to get
20 about the same performance.

21 That needs to be tested at a large pilot or
22 full-scale and we look for volunteers.

23 All of this is affected by wind and in some
24 parts of the world, in hot desert-y parts of the world,
25 very often the hottest days are accompanied by high

1 winds. This is data from a plant through the summer,
2 which shows the pressure at the exit to the turbine
3 versus ambient temperature with wind speed as a
4 parameter. And so the lower line is zero wind up to
5 just a few miles per hour. And the top line is wind
6 speeds up to 20 miles per hour. And so you can see
7 it's 100 degrees Fahrenheit, we're getting almost to
8 two inches of Mercury back pressure increase, because
9 of the wind and that can be a 10 to 15 percent
10 reduction in the output of the steam turbine.

11 We're looking at ways to suppress the effects
12 of wind. And two or three studies have been sponsored
13 by the Commission on that subject. Here you see the
14 wind breaks, wind screens placed underneath the thing.
15 There are porous fabrics. They tend to kill the gusts
16 of wind and reduce the cross-flow velocity underneath
17 the fans and keep the air flow up to the fans.

18 There's a current project underway again
19 under Commission sponsorship, to try to come up with a
20 sort of general set of guidelines for how to place and
21 how to design those wind screens. It's being done at
22 the Caithness Plant, which is actually on Long Island
23 in New York. But it was chosen for one simple reason,
24 the screens that are on that plant are retractable.
25 And when you're trying to measure the effect of screens

1 on wind effects it's nice to measure it with the
2 screens and without the screens. And all those plants
3 that have permanently installed wind screens are
4 surprising reluctant to let you take the screens down
5 as part of your research project, because it's a multi-
6 week, multi-million dollar issues. But these you push
7 a button and the screens go up. You can get the no-
8 screen data, you push a button the other way and they
9 can come down.

10 So that work is going to go on for the next
11 year or so and we hope at the end of it to be able to
12 tell people what kind of screens to put up, where to
13 place them and how much benefit they'll get from it.

14 So the question that is posed to me is, "What
15 do you do about getting more energy on hot days?" And
16 you can use a little bit of water to enhance the output
17 from gas turbines or to reduce the back-pressure on
18 steam turbines. You can use that with inlet sprays.
19 You can use it to enhance some portions of the air
20 cooled condenser. You can actually spray more and
21 actually deluge some of the things. And you can put up
22 wind screens.

23 And all of these things cost a little bit of
24 water and a little bit of money, but if you want more
25 electricity on hot days there are ways to design the

1 plant, there are ways to retrofit existing plants
2 that'll do that for you.

3 There is I stuck two slides right at the end,
4 and I don't know how I'm going to doing on time, but
5 just one more. There was report written three or four
6 years ago called "The Cost and Value of Water Use at
7 Combined Cycle Power Plants" and it looked at the
8 various ways that water is used in a plant. And what
9 happened to you if you didn't have it to use, what
10 happened to you if you replaced the water-using
11 components with wet stuff. And how much it costs and
12 how much it increased or reduced the output from the
13 plant.

14 And it covers most of the things that we just
15 talked about and it's a report that's a few years old,
16 now but it's on the Commission website and it contains
17 a lot of, I think valuable information that those of
18 you that are interested in reading more about it can
19 find, okay.

20 CHAIRMAN WEISENMILLER: Thank you. We are
21 running a little late, but just one question. You
22 talked a lot about gas-power plants and I just wanted
23 to clarify, obviously we're doing this sort of thermal,
24 we're doing a lot of other thermal power plants, which
25 certainly require we watch the cooling. And so how

1 much of these techniques could be applied to things
2 other than gas-fired, but again thermal plants?

3 MR. MAULBETSCH: Virtually all of them could
4 be applied to the other thermal plants. Any plant that
5 generates power by running steam through a steam
6 turbine whether it's: a solar thermal or gas-fired,
7 gas-fired combined, nuclear, coal. I guess you're not
8 very interested in coal, all of these techniques.

9 CHAIRMAN WEISENMILLER: Yeah, no that's good.
10 I mean, we tend to think of this a lot as a unique
11 issue for gas plants. My presumption is it's any sort
12 of thermal, any thermal plant has the same thermal
13 efficiency loss.

14 MR. MAULBETSCH: Any steam thermal plant.

15 CHAIRMAN WEISENMILLER: Okay, thank you.

16 MR. MAULBETSCH: Yes, you're welcome.

17 MS. KORESEC: All right, in the interests of
18 time we're going to move on. If you have questions for
19 John I encourage you to contact him. Our next speaker
20 is Gretchen Hardison from LADWP.

21 MS. HARDISON: Good afternoon. I'm Gretchen
22 Hardison with the Los Angeles Department of Water and
23 Power and I am in the Energy Efficiency Division of the
24 DWP. I'm here today speaking on behalf Beth Gines
25 who's the Director of Strategic Initiatives at DWP.

1 Just want to spend a few minutes this
2 afternoon talking about some of the work that we've
3 been doing at DWP and the City of Los Angeles, with
4 respect to climate change: both mitigation and
5 adaptation.

6 First I'll give you very quick background on
7 the Department, review some of the city's past work on
8 climate change, and spend the bulk of the time talking
9 about two studies that we have done recently. The
10 climate change temperature study done out of UCLA and a
11 sea-level rise vulnerability study done out of the
12 University of Southern California Sea Grant Program
13 there. And finally I'll talk about a few initiatives
14 at the DWP that are contributing to our mitigation
15 efforts in the city and helping us adapt to our future
16 climate.

17 The Department of Water and Power in Los
18 Angeles is the largest municipal utility in the nation
19 serving a population of 4 million within our 465 square
20 miles in the City of Los Angeles. We have about 1.4
21 million electrical customers in distribution you see
22 there: residential, commercial and industrial. And
23 also about 657,000 water connections. DWP is a
24 proprietary department of the City of Los Angeles
25 wholly owned by the City of L.A. We have our own board

1 of commissioners and an independent revenue stream.

2 As you can see the city's been involved in
3 climate activities for many, many years. We've done
4 municipal greenhouse gas inventories for 1990, the
5 years 2004 through 2007, a high level community
6 inventory, greenhouse gas inventory. The city and
7 LADWP, both independently joined the California Climate
8 Action Registry as charter members a way long time ago.

9 In May of 2007 Mayor Antonio Villaraigosa
10 released the city's climate action plan entitled "Green
11 LA: An Action Plan to Lead the Nation in Fighting
12 Global Warming" and that set forth a goal to reduce
13 greenhouse gas emissions to 35 percent below 1990
14 levels by the year 2020. The following year the city
15 released Climate LA, which is our implementation plan
16 guiding actions of various city departments to achieve
17 the goal set out in the Green LA plan. And as you can
18 well imagine as the electricity provider for all of the
19 city's infrastructure and operations DWP really plays a
20 major role in that.

21 One of the critical elements shared both
22 between the Green LA and the Climate LA plans are the
23 discussion of co-benefits. We took advantage of a
24 number of environmental programs that were ongoing or
25 planned and identified the greenhouse gas emission

1 reductions that we can achieve from those, so that
2 again we're combining efforts and leveraging those
3 ongoing efforts rather than having to start a whole new
4 regime.

5 In 2009-2010 our efforts expanded to include
6 adaptation and key climate staff began discussing, with
7 a number of community stakeholders, what types of
8 issues we needed to look at in the City of L.A. We
9 have a number of stakeholders as you might well imagine
10 and a number of working groups going on at various
11 times. We developed city department working groups to
12 contribute information on city operations, how many
13 vehicles we have, how much fuel we're using of various
14 types.

15 We've developed with the County of Los
16 Angeles the Los Angeles Regional Collaborative for
17 Climate Action and Sustainability. And this group has
18 really served as -- it's a network of organizations,
19 local to Los Angeles County designed to encourage
20 greater cooperation and coordination between local
21 governments, business, academia, community groups
22 etcetera. And this has really helped us broaden the
23 conversation. They have helped attract new
24 stakeholders. They hold discussion groups for us to
25 really spread the word and help us at the city and DWP

1 hear what the concerns are in our community.

2 We have partnerships that we've developed
3 with a number of universities, but primarily UCLA and
4 USC. And I'll be talking about the work that they've
5 been doing.

6 So this is the first installment of the
7 climate change project being done by a UCLA team led by
8 Dr. Alex Hall, who's an atmospheric scientist at UCLA,
9 and a member of the Institute of the Environment and
10 Sustainability there. This first portion of the study
11 is the study of temperature that he has titled "Mid-
12 Century Warming in the Los Angeles Region".

13 The City of Los Angeles was lucky enough to
14 have some energy efficiency and conservation block
15 grant funding through the ARRA Stimulus Program. And
16 we were able to retain Dr. Hall and his team to spend a
17 great deal of time downscaling global climate models to
18 the Los Angeles region. The models were downscaled
19 from 200-kilometer grids down to a 2-kilometer grid
20 covering an area somewhat bigger than the County of Los
21 Angeles.

22 The downscaling incorporated the local
23 topography and coastline information, so that it can
24 give us more detailed information on the temperature
25 changes expected along the coast, in the Los Angeles

1 basin, in our local mountains, valleys and the deserts
2 of Palmdale, Lancaster area. The model has been
3 validated and Dr. Hall is now using that to develop
4 future climate scenarios. Again, the first installment
5 of this is his temperature study. And what he did was
6 use a 1981 through 2000 as our baseline scenario and
7 compared that to other scenarios 2041 through 2060, a
8 mid-century scenario, and then what I don't have on the
9 slide is an end-of-century scenario for 2081 through
10 2100.

11 The modeling and statistical analysis produce
12 and ensemble mean warming scenario. And forgive me,
13 but I'm giving the layperson version of these. And
14 this is deemed to be the most likely warming impacts
15 that we'll be seeing in the Los Angeles region. And
16 though the average warming over the entire region is
17 about 4 and a 1/2 degrees Fahrenheit at a 95 percent
18 confidence level, that the warming will lie between 1.7
19 and 7.5 degrees Fahrenheit, there's quite a bit of
20 variation between the coastal and inland areas that
21 you'll see in just a moment.

22 But the coastal and central locations in the
23 Los Angeles basin to downtown areas are expected to see
24 about two to three times the number of extremely hot
25 days, which are identified as days with over 95

1 degrees. And the higher elevations, including the
2 mountains and the deserts and the San Fernando Valley
3 are looking to see about three to five times the number
4 of hot days. This is a slide I apologize, it's rather
5 small. But it gives you a little flavor of the
6 temperature gradients from the coast to the inland
7 areas.

8 And this you can see a little more clearly.
9 The graph on the left shows our baseline conditions
10 from 1981 through 2000. This is the temperature
11 profile. And then on the right is a business as usual
12 scenarios through the most extreme scenarios that Dr.
13 Hall looked at. And you can see that the areas along
14 the coast have narrowed considerably where we will have
15 only maybe three to six additional days of extreme heat
16 per year.

17 You probably can't see on the slides, but
18 there's a small image outline of the City of Los
19 Angeles. And down at the knob at the coast there you
20 can see the port areas will be expecting ten, twelve,
21 fifteen additional days of extreme heat, but the San
22 Fernando Valley is looking at thirty to forty
23 additional days with no mitigation beyond that, that
24 had occurred in 2000.

25 Dr. Hall also modeled a mitigation scenario

1 which looked at fairly aggressive mitigations. And
2 even in that scenario we would still be seeing two to
3 three times the current levels of extreme heat. Dr.
4 Hall also gave a presentation down at UCLA just last
5 Friday, and he did release some preliminary results for
6 other climate criteria that he's studying, so I'd like
7 to just highlight those.

8 Another issue that he's looking at is
9 snowfall, local snowfall in our local mountains. The
10 modeling does show preliminarily a significant
11 reduction in snowfall by mid-century in the 2041 to
12 2060 time frame. A little more than half of the
13 baseline snowfall amounts under the business as usual
14 scenario. And the mitigation scenario for that time
15 frame also shows reductions, substantial reductions in
16 snowfall.

17 Santa Ana winds I know earlier we were talked
18 to and heard a little bit about wind patterns and how
19 that does affect temperature, wild fires and many other
20 climate criteria. The Santa Ana winds in the Southland
21 are autumn winds that typically occur October through
22 December as the desert cools and the winds rush towards
23 the ocean. These winds are, through his modeling,
24 expected to decrease which could, he believes, help
25 decrease wind-driven wild fires in October through

1 December. Those that are driven by the Santa Ana winds
2 and can threaten our transmission lines and actually,
3 we have a fire right now down in South Coast in San
4 Francisquito Canyon right near one of our power house
5 is. But combining the wind information with the
6 substantial increases in temperature, again
7 preliminarily the results appear as though the
8 temperature-driven summer wildfires are projected to
9 increase dramatically. And that's really going to
10 counter act the benefit from the reduced Santa Ana
11 winds.

12 Dr. Hall and his group has also studied
13 precipitation and again this has been difficult to get
14 a handle on. But preliminarily his results show very
15 little change in the actual precipitation, but he has
16 not yet modeled snowmelt and some other impacts on the
17 water supply. One other area that he will be studying
18 is the low clouds and fog and a sixth element that I'm
19 forgetting right now.

20 The second climate change study adaptation
21 that we've been working on, is the sea-level rise
22 vulnerability study for the City of Los Angeles. And
23 this study is being led, or has been led, by the Sea
24 Grant Program out of USC together with the primary
25 partner, the City of Los Angeles, again the Los Angeles

1 Regional Collaborative and ICLEI.

2 The initial research of the sea-level rise
3 and associated flooding focused on our three City of
4 Los Angeles coastal regions: the Pacific Palisades,
5 Venice, Playa del Rey and LAX areas and then further
6 south around the Peninsula, the San Pedro, Wilmington
7 and Port of Los Angeles areas.

8 The team used a model developed by the USGS
9 and information was based on a January 2010, at that
10 time, a ten-year storm. And again the city departments
11 did contribute a great deal to the development of this
12 study by providing information on our critical coastal
13 infrastructure. So the study looked at how that infra
14 structure might be impacted.

15 The sea-level rise results that they've
16 determined through this study matches pretty well with
17 other global projections. A five-to-nine inches
18 increase between the year 2000 and 2050 and about
19 double to triple that over the entire century. And
20 obviously this can be exacerbated through storm surges
21 and high tides. At this point the study has determined
22 that roads and some water systems will be vulnerable to
23 sea-level rise and storm surge impacts. We have a fair
24 amount of infrastructure down around the port and other
25 coastal areas that need to be addressed, that our

1 Bureau of Engineering and our Sanitation Department are
2 reviewing and considering actions.

3 Cultural assets also along the coast: parks,
4 open space, museums, aquariums can also be vulnerable
5 to the sea-level rise and storm surge. But the port and
6 energy facilities at this point appear to have low
7 vulnerability to the sea-level rise.

8 Again, here are some additional studies that
9 various city departments are conducting or have
10 conducted recently. The Department of Water and Power
11 has done a tsunami study that had very similar results.
12 And we are looking also as social and economic impacts
13 to those communities closest to the coast.

14 So along with our Green LA Plan, our Climate
15 LA guidance document for achieving the goals of green
16 LA, we have Adapt LA, which is a city-lead science-
17 based participatory process to take a look at the
18 climate changes that we're expecting in the Los Angeles
19 area and help us identify vulnerabilities and actions
20 that we can take for moving forward. We have a
21 steering committee, a city department team and then our
22 regional stakeholder working group, which again is
23 being facilitated by the Los Angeles Regional
24 Collaborative.

25 I will confess that I neglected to include a

1 slide on two of the biggest initiatives that DWP is
2 undertaking that will help reduce greenhouse gas
3 emissions from our energy generation and hopefully
4 reduce the amount of adaptation that we need to achieve
5 in the Los Angeles area. First, as I'm sure you've all
6 heard the Board of Commissioners and the City Council
7 have adopted a plan to transition LADWP off of coal by
8 2025. As the first major step of this DWP will end
9 power purchases from the Navajo Generating Station by
10 the end of 2015; four years earlier than mandated. And
11 the second step calls for DWP to completely transition
12 out of coal power from the Intermountain Power Plant in
13 Utah by 2025. And that transition is expected to begin
14 by 2020.

15 This is a huge change for us. At the moment,
16 we have about 41 percent of our portfolio is coal-
17 based. And we'll be transitioning that to zero in
18 about twelve years. We will be increasing our use of
19 natural gas to supplement our large investments in
20 wind, solar and geo-thermal power. In addition DWP and
21 the city in May finalized a 150 megawatt feed-in-tariff
22 program by adding 50 megawatts to the previous 100
23 megawatt FIT program that was approved in January. In
24 addition to the solar power the coal resources will be
25 replaced by a combination of greatly increased

1 commitment to energy efficiency and expanding other
2 renewable resources.

3 So since I'm from the Energy Efficiency
4 Division I'm going to leave you with a slide about what
5 we're doing. We've been lucky enough to have the board
6 increase our energy efficiency funding budget by about
7 two and a half percent up to \$265 million over the next
8 two years. And so we are frantically working to put
9 that money to good use, expand existing programs and to
10 add new programs to our energy efficiency portfolio.
11 One big initiative we're doing is to partner with the
12 Southern California Gas Company on a number of joint
13 rebate programs. So that will allow our customers to
14 access some statewide programs that the IRUs are
15 currently operating for new construction and for
16 existing residential and other programs as we move
17 ahead.

18 But we've also trying to take a look at
19 cooling incentives. And again under the RF funding, a
20 couple of years ago, we were able to add a couple of
21 rebates to our portfolio including our residential cool
22 roof rebate that applies to single and multi-family
23 housing and a whole-house fan rebate. I will tell you
24 the whole-house fan rebate has not been terribly
25 popular, because the cost of a permit which is required

1 for the rebate is about the same as the rebate itself,
2 but we've left it on our menu in case it does attract
3 some additional folks.

4 We're looking into cool pavements. We're
5 doing some work with L.A. Unified School District and
6 we're hoping that we'll be able to demonstrate some
7 cooler pavements there. And we are financially
8 supporting Million Trees LA Program, which can also
9 help cool our communities. Thank you very much.

10 CHAIRMAN WEISENMILLER: Thanks. I was
11 wondering, over the next couple of years, if you have
12 identified the high priority areas for future research?

13 MS. HARDISON: Well, I think we'd like to get
14 a little more detailed results from the Alex Hall group
15 on the wind, precipitation and snowfall and snowmelt
16 and the low clouds and fog. Our fire department
17 obviously quite interested in that as our power
18 planners and water planners are. I believe we'll be
19 doing some additional work on the sea-level rise and
20 coastal challenges as well.

21 CHAIRMAN WEISENMILLER: And one last
22 question. In terms of as you looked at the effects,
23 are any of your substations in vulnerable areas?

24 MS. HARDISON: I believe so. I don't know
25 for a fact, but I believe so. Certainly the valley

1 generating station will certainly be in high-heat area.
2 There is some wildfire risk out there as well.

3 CHAIRMAN WEISENMILLER: Okay, thank you.

4 MS. HARDISON: Thank you.

5 MS. KORESEC: I think we have one question
6 from the audience. Come up and identify yourself,
7 thanks.

8 MR. SCHWARTZBACH: Hello, I'm Steve
9 Schwartzbach with USGS. And I wanted to ask if the
10 information from Alex Hall is published, particularly
11 the information on Santa Ana winds projections?

12 MS. HARDISON: The Santa Ana wind study has
13 not been published yet. I expect in about two weeks, I
14 believe on the 18th, Alex will be giving another
15 presentation and releasing some additional information.
16 There is a website, letter C-Change.LA, that is keeping
17 up with the results from his studies though and they'll
18 have that.

19 MS. KORESEC: Thank you. All right, next we
20 have Kathleen Ave and Obadiah Bartholomy from SMUD.

21 MR. BARTHOLOMY: Okay, hello and I thank you
22 for all your attention this late in the day. I'm going
23 to go ahead and give a brief introduction background on
24 this topic and Kathleen Ave, my partner, is going to be
25 sharing some of our current assessment results. She'll

1 have the bulk of the presentation.

2 So first off, I'm going to just give a quick
3 SMUD overview and talk about specifically our energy
4 resources, which are relevant to our adaptation
5 planning. I'll also talk about our board directives
6 and some of the background that led us into the impacts
7 and adaptation area for assessment. And then
8 Kathleen's going to cover our current climate readiness
9 strategy and give a summary of findings and our plans
10 for future work regionally and in the research front.

11 So just by way of overview, I think to orient
12 you we're about 11 million megawatt hours in sales, so
13 we're the sixth largest POU nationally and about four
14 percent of the annual energy sales, about five percent
15 of the annual peak demand for California, in terms of
16 electricity. We're an electric-only provider and we're
17 governed by a locally-elected governing board, which
18 has seven members that are directly accountable to the
19 voters and have a direct tie with the voters.

20 And I guess the other thing that's important
21 to note about the board governance is that this is not
22 their full-time job, so they're not energy experts.
23 That is until recently we've been joined by someone
24 who, I guess, would be an energy expert in Director
25 Picker.

1 So with that just covering our energy
2 resources about 50 percent of our generation comes from
3 natural gas combined-cycle plants primarily. We have
4 four locations with combined-cycle plants totaling
5 about 850 megawatts and an additional 150 megawatts of
6 natural gas simple-cycle peaker plants.

7 We also have a substantial amount of hydro in
8 our portfolio, about 25 percent of our energy comes
9 from hydro and a big chunk of that comes from our Upper
10 American River Project. That's a total of 688
11 megawatts going up the American River into the Sierra.

12 We also have substantial import ties to the
13 northwest. We have about 1600 megawatts on the COTP
14 transmission line. And we use that to bring down both
15 hydro and biomass resources. We have a total of about
16 200 megawatts of biomass. A good chunk of that is up
17 in the northwest. And on the wind and solar front
18 we've just finished out our Solano Phase III to a total
19 of 230 megawatts and a solar 50 and 100 megawatts of
20 rooftop and ground mount respectively.

21 So I mentioned our board and the governance
22 that they provide. And this was a few years ago now
23 that they adopted this policy, but it was a policy to
24 put us on a path to a 90 percent carbon reduction by
25 2050, called our Sustainable Energy Supply Strategic

1 Directive. And what it provided for us was kind of a
2 midterm marker of a 2020 goal and then a long-term goal
3 of a 90-percent reduction below our 1990 levels
4 consistent with the state targets. And it allows for a
5 fairly long-term planning horizon for planning for the
6 kinds of resources that I showed on the previous page.
7 And how those resources are going to need to change to
8 fit within that window and provides one of the pieces
9 of a set of long-term planning activities that Kathleen
10 will go over as part of her presentation.

11 Just to give you a quick demonstration of how
12 we're doing on achieving those goals, we're actually
13 about 20 percent below our 1990 emissions level today,
14 and expect to be about 30 percent below our 1990 levels
15 by 2020 with the current set of policies that are in
16 place primarily met through renewable portfolio
17 standard in energy efficiency as well as some of our
18 voluntary green pricing program. And this is despite
19 about a 30 percent increase in electric sales since
20 1990 over this timeframe.

21 I mentioned the sustainable energy supply and
22 goal and RPS energy efficiency, but also are working
23 hard on energy electric transportation and smart grid
24 as well as various greenhouse gas policy initiatives in
25 trying to work with the state to create policies to

1 allow a smoother pathway on the long-term planning
2 horizon. And then lastly disaster recovery and
3 emergency response coordination, which up to now has
4 been effectively our adaptation approach and that's a
5 fairly near-term planning window for specific disasters
6 that could hit us.

7 We initially began looking at a climate
8 impacts about 2008-2009. We commissioned our first
9 study with SAIC to begin to look at effects of changing
10 climate on our assets and operations. And we primarily
11 were focused on temperature effects on peak demand,
12 hydro impacts, flood risk and thermal limiting on power
13 plants. And this work was summarized and presented to
14 the board ahead of their adoption of the sustainable
15 energy supply carbon reduction goals and to some extent
16 influenced that along with the activities that are
17 going on at the state in terms of long term planning.

18 So with that background I'm going to ask
19 Kathleen to share with you our current work on
20 adaptation planning, so Kathleen?

21 MS. AVE: Thanks Obadiah, hello everyone. So
22 in terms of our current approach we're doing this work
23 with SAIC who helped us on the prior work as well. But
24 the intent here was to review the work that was done in
25 2008 and 2009, the summary of the fiscal impacts.

1 Investigate and summarize any new findings related to
2 the topic areas that were looked at back then, but then
3 review the best available science for areas that
4 weren't addressed back then. And the main ones there
5 are wind, which is extremely important for us and then
6 wildfire, which may impact our upper-American River
7 hydro project as well as our transmission assets and
8 then to develop some very high level next steps for
9 recommendation.

10 So this initial work was just to capture a
11 snapshot of the current best available science from
12 previously published sources. We weren't doing new
13 original research here, but the approach was to just
14 gather this information and then plan for subsequent
15 work where we would dig a lot deeper into specific
16 operations or processes that warrant further
17 examination or data analysis.

18 So we're in the process right now of the
19 final stages of completing our report and we're
20 developing, you know, more specific recommendations for
21 what we will be looking at in the future although we
22 have some ideas of where that's going to go. And then
23 we definitely want to pursue opportunities for
24 collaborative research. This work identified some
25 gaps; we talked about the gap of wind information

1 earlier in the day. That's definitely one that popped
2 up and we'll want to pursue potentially with the CEC or
3 other partners.

4 So why prepare? The objectives of already in
5 the strategy were really to assist our work for us and
6 our community of owners to prepare for changes that are
7 already happening and that are expected in our region.
8 And to enable us to manage those changes, many of them
9 are beyond our control even with our and the collective
10 efforts of the State of California to prevent
11 unnecessary risk. So we want to be able to plan and
12 work with other local agencies in our region to best
13 utilize our resources.

14 And why are we calling this readiness? So
15 adaptation is a term that is not particularly well
16 understood among the general public; those that do
17 understand it or know what it is associate it with the
18 natural selection, which is a long, slow, different
19 kind of process. So we saw some research that was
20 presented at the Behavior, Energy and Climate Change
21 Conference here in Sacramento last fall. And then also
22 have kind of heard through the grapevine that the state
23 is considering changing the way it presents this kind
24 of information getting away from the term adaptation.
25 So we went with readiness. Preparedness was actually

1 the term that tested best among the public in the study
2 that we saw, so we may end up changing it. But
3 readiness was what we were told the state was headed
4 for, so we went with that one.

5 MR. BARTHOLOMY: I would fly that the federal
6 government is going towards preparedness now.

7 MS. AVE: Preparedness? Okay, well we'll
8 have to change that. And, you know, this seems like in
9 a way a little bit of a fussy thing to talk about, but
10 because we are in a position where we're going to need
11 to be conveying this information to our customers and
12 to get them to buy in to changes in the way they behave
13 and/or how they pay for electricity it's really
14 important that it be something that they understand.

15 So just getting into the summaries of the
16 physical impacts that we have gathered this is actually
17 an older slide from our original study. And it looks
18 at high-emission scenario or middle-high or business as
19 usual and then a low emissions scenario, which is
20 starting to feel like it's not even worth talking
21 about. But we do continue to include it.

22 And this shows, summarizes the state-wide
23 temperature rise and it shows increased temperatures,
24 reduction in Sierra snowpack and increased risk of
25 flooding in the Sacramento and then also the potential

1 reduced air quality. All of which will have impacts in
2 Sacramento. There are, you know, I'll focus on the
3 medium-high emissions scenario, a 79 to 80 percent
4 projected loss in Sierra snowpack obviously will have a
5 big impact on our hydro system down the road if certain
6 other trends occur. Two and a half to four times as
7 many heat wave days and then also an increase in the
8 heat-related deaths projected for urban centers and the
9 number of critically dry years all driving an 11
10 percent increase in electricity demand.

11 So this summary includes some additional
12 data, newer data in some cases, for focusing on
13 Sacramento and again, by mid-Century looking at a one
14 to four-degree Fahrenheit increase and then 2.7 to 8.1
15 degrees by the end of the century. Extreme heat days,
16 we're looking at an average of 44 by 2050 and 85 by the
17 end of the century. And the most current period that
18 we looked at for current observations of extreme heat
19 days is that it's around 13 per year, so this is a
20 really big increase. And I think we saw some of that
21 in Dan Cayan's expected number of heat waves even by
22 2020.

23 So and there's also data that we looked at
24 for precipitation against snowpack and wildfire. The
25 precipitation line is of note and we've been having

1 some dialogue with CEC staff over this one, because we
2 are in Sacramento right between NOAA's California
3 climate regions 2 and 5, almost right on the border.
4 So we're in this sort of fringe zone location. And you
5 also may not remember, I'm not sure if he's still here
6 from PG&E when he presented the increase in
7 precipitation that they experienced. The fulcrum in
8 that graph was Folsom in the upper American River and
9 so precipitation is definitely going to be a tricky one
10 for us to call here in this region, because we are kind
11 of right in the middle of two zones that will have
12 differing or are expected to have different patterns.
13 So how that affects our UARP, you know, and then how we
14 experience life here in Sacramento will be things we
15 definitely want to watch.

16 Move on, we can summarize some of these. So
17 the potential concerns that we have that we are kind of
18 going through and looking at, well what specific
19 projects might we want to charter in these areas?
20 Changes in the overall ambient temperature, but
21 particularly the peak temperatures that we have to plan
22 for, the extreme temperatures are the ones that we have
23 to have load serving capability to meet. So they're
24 extremely important and being able to project, you
25 know, really on a daily basis what are those going to

1 look like and how might that differ from what they look
2 like today is really. And then the nighttime
3 temperature, so this was also something that Dan talked
4 about earlier in the day in the observed data of the
5 increase in nighttime temperatures. And for those of
6 who live in Sacramento the cooling at night is
7 important for our livability, but it's also important
8 for our ability to get our equipment cool enough to be
9 able to generate effectively and distribute electricity
10 effectively on the following day. So that's a really
11 compounding item for us.

12 Chances in the frequency of extreme events,
13 obviously that one because that could affect a number
14 of these different vectors and looks like that's a
15 pretty solid trend. How it pulls in temperature and
16 wind and precipitation all still a little bit unclear,
17 but the frequency is expected to increase.

18 Efficiency, reliability and life cycle of our
19 power plants, the previous presentation gave kind of a
20 summary of some of those impacts and then, you know,
21 the ability to cool down at night. And the assumptions
22 that go into the life cycle for that equipment and
23 maintenance schedules for the equipment all are kind of
24 questioned if the basic ambient temperatures really
25 start to shift over time.

1 So timing of snowmelt and the volume of
2 precipitation, I mentioned this a little bit earlier.
3 And our experience so far, our actual data suggests
4 that we are seeing an earlier runoff, but so far we
5 have not experienced any change in the overall
6 precipitation in the system. So and, you know, again
7 being right in the middle of those two zones so far
8 we're not seeing it in the data, but that doesn't mean
9 that that won't emerge at some point in the future and
10 we'll be watching it really closely.

11 Localized and Bay Delta flood risk, it's no
12 secret that there are issues like swimming pools
13 impacting the levies here in Sacramento. And lots of
14 concerns about what's been built in the flood plain, so
15 this affects us and our infrastructure definitely. We
16 have substations that are at risk of flooding and other
17 assets, so that's something that we're definitely going
18 to be looking closely at. Some of the maps that exist
19 for the area that show specific levee breaks and the
20 times of inundation and the areas of inundation are of
21 critical importance to us for planning.

22 And then wind patterns and speed, we as
23 Obadiah mentioned we operate a large wind facility in
24 Solano County. So what will happen to the output of
25 that plant is of critical importance. And then the

1 Delta Breeze, it's a huge factor in our ability to cool
2 in the summer and anybody who lives in Sacramento knows
3 that no matter what you're doing on a hot day, by the
4 end of the afternoon you're pretty much just waiting
5 for the Delta Breeze to kick in, so that you can cool
6 down. And that's of huge importance to us, so what
7 will happen to it is a big, big question. And we'd
8 like to gather as much data as we can and potentially
9 do some new research. We actually, Obadiah had a
10 chance meeting or found a retired meritorious professor
11 at Sac State who had done his original dissertation on
12 the Delta Breeze. So we've located him and he's dug
13 out his work and anyway we're sure going to grab
14 anything that we can get and then build from there to
15 get a better understanding of this.

16 And then of course wildfire frequency and
17 intensity, the impact to our transmission assets as
18 well as some of our out of district sources of energy
19 supply Obadiah mentioned in the Northwest. That's a
20 big one and then just our UARP as well.

21 Am I running out of time? Very good, okay I
22 better go fast. Okay, so like any utility, water or
23 electricity or whatever, we have short and long-range
24 planning horizons and the assets that we own have in
25 some cases very long life cycles. All of which is to

1 say that in the short-term, you know, our real-time,
2 hour ahead, day ahead trading activities definitely
3 could be affected by extreme events. Our budget, all
4 the load forecasts, commodity forecasts, they go into
5 the development of a budget over time where we would
6 expect to be affected as some of these metrics start to
7 shift.

8 And then, you know, climate and these impacts
9 on our physical infrastructure are definitely things
10 that will be what we do and will continue to
11 incorporate into our integrated resource planning
12 process, which looks at a longer horizon as well as
13 decision making around some of these longer-term
14 assets.

15 This is just a snapshot of our current
16 enterprise risk dashboard and I highlighted with
17 circles some of the areas that will -- that already
18 exist here. They're risks that our board looks at
19 monthly and those are some of the places where we
20 expect adaptation-related work to potentially affect
21 the ratings.

22 So additional research, I mentioned wind and
23 the impact on the patterns and speed at Solano as well
24 as the Delta Breeze are real large priorities. And
25 then better granularity around temperature, the

1 certainty of daytime peak versus the annual average
2 temperature projections really important for the
3 ability to plan and to decide when and if we make
4 changes in the way we forecast temperature upload.

5 The increase in nighttime temperature, we
6 would definitely like as much information as we can
7 about that. That's very local to Sacramento and some
8 of the information that was presented earlier today is
9 helpful in that regard. And then the relationship
10 between extreme in our normal peak demand, since today
11 we do plan for peak events, but how that might need to
12 change is still a little uncertain.

13 Wildfire here, really the impacts of post-
14 fire debris and sediment flows are things we're not
15 sure if this might have an impact on the hydro system
16 and how we operate it. And so yeah, in terms of
17 erosion, additional erosion and other issues, so that's
18 something that we would also like to look at and then
19 again, just focusing on better data for our edge
20 location.

21 So the next things we're going to do, I
22 mentioned this is a phased effort, so we're going to be
23 recommending to our board -- we haven't actually taken
24 this to them yet. So this is all just recommendations
25 at this point, incorporate these scenarios and our

1 readiness findings into any long-term planning process
2 at SMUD that looks beyond five years. And then that we
3 participate in a new regional adaptation collaborative
4 that is being formed here in Sacramento, support and
5 help fund new research. And then we think we want to
6 be doing this at least every four years. It seems like
7 things are changing fairly quickly in terms of the
8 development of new methodologies and new studies. Five
9 years feels too long, every year or other year too
10 short, so we'll see. But this will change depending on
11 what comes out and whether or not there's really a
12 reason to revise our findings sooner rather than later.

13 So that's what we have, thank you.

14 CHAIRMAN WEISENMILLER: Yeah, thanks. I was
15 just going to note that the last year the Energy
16 Commission adopted its demand forecast and included
17 climate change in that.

18 MS. AVE: Yes.

19 CHAIRMAN WEISENMILLER: And this year we're
20 taking more of a look at that issue, particularly have
21 that in mind if extreme events may affect our peak
22 planning also.

23 MS. AVE: Right, I've seen the sections in
24 the most recent reports that deal with peak temperature
25 forecasting. And so we're aware of that work and

1 definitely plan to incorporate it into this.

2 CHAIRMAN WEISENMILLER: Yeah, it seemed like
3 one thing, which is sort of an indirect effect of
4 climate change is the whole Bay Delta plan and that
5 impacts on your hydro system?

6 MS. AVE: On our hydro system?

7 CHAIRMAN WEISENMILLER: Yeah.

8 MS. AVE: In terms of demand for the water?

9 CHAIRMAN WEISENMILLER: Oh, in terms of
10 demand for the water or what altered flow patterns
11 might mean.

12 MS. AVE: Well, there's a pretty dedicated
13 crew within SMUD that's watching that very closely,
14 because certainly any change in our access to the water
15 that we use is it's a big concern. As I mentioned it's
16 a big part of our portfolio.

17 CHAIRMAN WEISENMILLER: Okay, thank you.

18 MS. AVE: Thank you.

19 MS. KORESEC: Do we have any questions from
20 the audience? All right, thank you. Our next speaker
21 is Andrew Petrow from ICF.

22 MR. PETROW: Good afternoon, my name's Andy
23 Petrow. I work for ICF International. My firm was
24 hired by the California Energy Commission to help
25 design and implement the California Local Energy

1 Assurance Planning or what we affectionately call
2 CaLEAP. My presentation today will give you a little
3 bit of an overview of the CaLEAP project, but also
4 demonstrate how CaLEAP can help and in fact is helping,
5 right now respond to -- I mean, I should say prepare
6 for, respond to and mitigate against the impacts from
7 climate action changes at this point.

8 CaLEAP, this is the main goal, but what I
9 want to point out is that CaLEAP is a planning process.
10 It's a comprehensive planning process, which we'll go
11 over the methodology a little bit, but it's to -- some
12 of the speakers earlier mentioned that planning is the
13 key to some of the solutions or things that we're
14 working with the climate change right now. We support
15 that and say that planning is a step, not the only step
16 in moving forward. Our process is focused on local
17 governments, we're working with a lot of cities and
18 counties to make sure that they understand the
19 comprehensive planning process moving forward.

20 The main goal of our project is to ensure
21 that the key assets within their communities have
22 energy after major disruptions. We know that a lot of
23 events, we focus on the effects of the hazard, not the
24 hazard itself. I know this afternoon we've talked a
25 little bit about the science behind a lot of the

1 hazards. We're really looking at the impacts. We're
2 really saying that no matter whether it's a flood,
3 fire, earthquake or cyber attack that you can have
4 disruptions to your energy within your communities. So
5 we're really looking at in your key assets will they
6 have energy after those type of events and what can you
7 do to prevent that or ensure that there's power after?

8 We also look at climate action change. I'm
9 sorry, we look at the wildfires, we look at all hazards
10 in our events, so we work with a lot of mitigation
11 planning that looks at different types of hazards. We
12 look at the impacts from those and we also look at how
13 the communities can respond to those moving forward.

14 The objectives of CaLEAP, the main thing is
15 to demonstrate how you can build a stand-alone energy
16 assurance plan that addresses these concerns as well as
17 to incorporate energy into existing planning efforts.
18 So we are not looking to build siloed plans here, we're
19 really trying to figure out how we can work with
20 communities to go with their existing planning efforts.
21 So we are working with cities, updating their general
22 plans. We're working with their emergency operations
23 plans. We are working with their haz mitigation plans
24 as well as their climate change plans and greenhouse
25 gas plans as well, so there's different plans that the

1 communities are currently doing. We're leveraging that
2 information to try to see how we can kind of grow that
3 and consider or emphasize energy moving forward.

4 We also want to present new and evolving
5 technologies. That's something that a lot of
6 communities have kind of avoided or don't properly
7 understand, where do they need to be in the future. So
8 it's not about jus throwing backup generators on my key
9 assets, but really understanding where's technology
10 moving in the future? We bring that technical
11 expertise to the locals, so that they can start making
12 better decisions moving forward.

13 We talk about awareness. Our planning
14 process is a comprehensive planning process. We really
15 want you to understand your communities, what's
16 happening there, are you growing as a community? Are
17 you aging as a community, where are your needs kind of
18 moving down the line? Do you see more industrial,
19 commercial kind of moving, what are those impacts on
20 energy? What does that mean to your community? Not
21 only from a response but also a recovery standpoint, so
22 you start understanding how the energy kind of come
23 into play there. It's key for communities to bounce
24 back immediately after disasters, so that you can get
25 business back to normal. Energy is the key factor

1 there. It ripples through everything from your
2 recovery, from your commercial, your economy as well as
3 your communications to your responses.

4 We talk about energy profile, something
5 that's different in most planning processes. We're
6 kind of focusing on the energy side, our planning
7 process. We're talking to communities about
8 understanding their local supply and demand. Where are
9 they getting their supplies from? When we talk about
10 energy we're talking about both electricity, natural
11 gas transportation fuels, as well as petroleum, I mean
12 propane, and other types of fuels looking into
13 communities. Trying to understand where those sources
14 are coming from, where are your peak demands? Is it in
15 the summer, the winter, is it for heating and cooling?
16 Is it coming in off peak hours? So understanding that
17 if you do have these disruptions and you need to keep
18 those buildings or those functions working what type of
19 supply are you really looking at? You really don't
20 want to have to build a supply or demand, or excuse me,
21 you don't want to supply a building that you need a
22 larger demand for. You want those buildings to be
23 efficient as possible, kind of moving forward.

24 And we talk about hazards, extreme weather
25 events. We mention that we talk about all different

1 hazards. We are leveraging a lot of work that's
2 currently being done through Cal EMA and other
3 emergency management agencies looking at different
4 hazard stuff that communities are faced with. We are
5 implementing that to start looking at the
6 vulnerabilities of these things as well as the
7 exposure. We are looking at extreme weather events,
8 we're tying in, we're bringing those members to the
9 table, start looking at what does this mean? You know,
10 is it 1,000 people displaced or 2,000 people displaced
11 and for how long and what do we need?

12 We are looking at dependencies and
13 interdependencies. That's something that's very key as
14 we're working with the locals to start understanding
15 what does it mean to my water system to not have
16 electricity or my electricity not to have water? What
17 are those interdependencies, how well are they working
18 together moving through this whole system?

19 And again, the last part is the key assets,
20 where is my key assets? A lot of communities have gone
21 to identify critical assets, we're looking at key
22 assets here, which is a little bit different. It's a
23 subset, so we're not talking about within your
24 community things that are important to you as parks and
25 maybe amusement parks and other such kinds of things

1 that have been normally or traditionally put on the
2 list. We're talking about key assets, things that you
3 cannot be without energy in your community such as a
4 hospital, 911 center, maybe a heating and cooling
5 center or a staging area or a school that you may use
6 as a shelter; things that you really cannot be without
7 power without moving forward.

8 And the last bullet we want to talk about is
9 the building of partnerships. One thing that we are
10 stressing in our planning process is about building
11 these partnerships before the disaster, not after.
12 It's really understanding who my utility contacts are,
13 who do I need to contact moving forward? And trying to
14 develop those relationships after a disaster is
15 impossible. You have communications down, you have
16 other obstacles, you have other challenges that you're
17 faced as well as your partners are faced. That if you
18 understand these partnerships before and their roles
19 and responsibilities things are getting done more
20 efficiently through the planning process.

21 CaLEAP methodology itself, we have vetted
22 this methodology through the 43 cities that have done
23 this nationally and paid by DOE to build these local
24 energy assurance plans as well as we've vetted this by
25 some large cities in the State of California as well.

1 We've started to understand how they go through their
2 local planning process. We didn't want to create a
3 parallel effort, we wanted to see how we can blend this
4 into their existing planning efforts. We leveraged a
5 lot of the work that was done through DOE initially at
6 the national level, they have some guidance out there
7 to local governments on how they could build and
8 incorporate or actually more build local energy
9 assurance plans.

10 We've also leveraged some of the work that
11 was done by FEMA, so we've looked at the Comprehensive
12 Planning Guide 101 that looks at a strategic approach
13 on how you go through tackling a comprehensive planning
14 process. We've blended those two processes together.
15 We've worked with the locals to vet this buy-in and
16 understand does this meet their needs, is this what
17 they're looking for? Again, what we're proposing here
18 is a solution, not the solution on how to move through
19 this. So if they have a better way that they go
20 through their process, go through a better analytical
21 process, we're encouraging them to continue down that
22 road. We're not saying they need to switch and meet
23 all of the criteria underneath CaLEAP at this point.

24 We are talking about local awareness. We've
25 talked about some of the things I'd like to point out

1 about the methodology; it's a four-step process. One
2 is dealing with the building of my forming of a
3 planning team. The difference here that we've done
4 traditionally in other planning efforts is that we're
5 encouraging the expansion outside of local government.
6 There was a discussion earlier about the police and
7 fire not cooperating or talking, you know, underneath
8 disaster scenarios. The State of California is pretty
9 good at the blending of those two, but we're
10 encouraging those people to be brought to the table as
11 well as expanding outside your local government. Look
12 at the local utilities, look at some of the larger
13 businesses in your communities. We are working with
14 Google, we are working with Cisco and a few other
15 companies to understand what their needs are.

16 A lot of those communities, even the
17 agriculture industry, their recovery also reflects how
18 well the governments respond and recover from those
19 disasters as well. So understanding what their energy
20 needs are in those communities, how they will need to
21 come back up on line or keep energy in their
22 communities. We talked to the agriculture industry and
23 they have indicated that it if they don't properly shut
24 down the dairy industry or keep certain power into that
25 dairy industry they start losing the cattle and which

1 creates a ripple effect or secondary effect where you
2 start having public health risk issues. And you start
3 dealing with other issues. Now, if they had some
4 semblance of energy or backup energy, alternative
5 energy dealing with the dairy out there they may avoid
6 some of those cascading effects that come from impacts.

7 The second part of step 2 is the energy
8 assurance plan itself. We talk about three steps
9 underneath that. One is dealing with understanding
10 your existing condition. The big point there is
11 looking at energy profile. It's really looking at what
12 are my energy supply and demand look like, excuse me do
13 I understand what my backup supply looks like? Do I
14 understand, do I have backup generators in my
15 community? Will I be able to move them, are they
16 portable, stationary? What does that backup look like,
17 do I have add 100 gallons on to that storage tank or 50
18 gallons?

19 We were recently in San Diego where they
20 indicated that because of the local economics, they
21 don't keep their tanks full now at 100 percent
22 capacity. So they had 100 gallons on their backup
23 generator. Now they keep 50 gallons on their backup
24 generators, which means that their supply is a lot
25 less, which means their run time is a lot less. And if

1 they haven't made energy efficiency buildings they're
2 running out of time quicker now. They won't be able to
3 keep their businesses going.

4 Underneath Step 2B is dealing with
5 vulnerability. We look at both exposure and
6 vulnerability. We look at not only are you exposed to
7 a flood, earthquake, high winds, any of these changes
8 that we're looking at, but are you vulnerable to it?
9 You know, you're not always vulnerable to a certain
10 type of event: sometimes you are, sometimes you're not.
11 We're asking them to explore both exposure and
12 vulnerability in your key assets and understanding what
13 the impact will be there.

14 And then the last step is dealing assembling
15 of projects and actions. We're helping local
16 governments understand what type of actions can they
17 take? Not only brick and mortar types of projects, but
18 what kind of actions? That could be reaching out to
19 the local utility a little bit more and trying to get
20 them to partner in moving forward as well as policy
21 decisions that the cities can make. Things that they
22 could help, maybe asking CEC to help with the air
23 quality boards, dealing with the backup generators, how
24 often can they test them, how often can they run them
25 and what's happening that way? So there's policy-types

1 of issues that can be done too, so our projects and
2 actions are really looking at the challenges faced by
3 the local governments in keeping energy available too.
4 Whether that is like I said from a cyber attack, an
5 earthquake or anything else we're really looking at all
6 the different events and saying, "What do you need as a
7 local community and how can we get you there?"

8 The last two steps are dealing with the
9 finalizing of the plan. There is no approval process,
10 so what we're working with the local government is
11 really their planning process. So if they have a
12 planning process that they go through for approval
13 that's what we work with. We don't add another layer
14 of approval.

15 And the last step is step 4, which is the
16 implementation and maintenance. We don't require any
17 maintenance, but we encourage an annual maintenance of
18 their plan to actually go back and look at their
19 projects. Reassess and look at their homework so to
20 speak, and look at what they've considered as part of
21 their issues to come up with their answers or actions
22 and projects. We're asking them to go back through and
23 validate those as they go through the process. To
24 continue to see is that the right alternative? Is that
25 the right option that I want to move forward with

1 looking for that backup energy?

2 The blue box at the bottom I just wanted to
3 point out, I forgot to, is that it's talking about how
4 we leveraged plans. So we're not asking them to go
5 through this process in a vacuum. We're saying, "That
6 if you have existing information you can leverage that
7 information into your current plan or you can go
8 through this process and also incorporate that
9 information into your other plans as well." We're
10 having a lot of success right now working with local
11 governments incorporating this information into their
12 hazard mitigation plans. They receive some grants
13 right now to go through and look at the hazards in
14 their community, look at what those impacts are. We're
15 asking them now to emphasize on the energy aspects of
16 those communities and incorporate that into their
17 planning process.

18 Many communities are updating their hazard
19 mitigation plans today and incorporating this energy
20 focus into it right now. We've also developed a
21 planning tool. It's important to point out that the
22 planning tool is not a turbo-taxed type of tool. It's
23 not you put data in, press a button, out spits a plan.
24 It's really helping someone walk through the process
25 organizing their thoughts, allowing them to collect

1 information and also allowing them to share information
2 as a virtual office with outside members.

3 Again, to kind of refresh we talked about
4 expanding our planning team, going outside the local
5 government, bringing in some private sector people.
6 This allows them to actually have a common place where
7 they can share information, where they can go in and
8 update the information and they can all see the same
9 information at the same time.

10 It also allows you to export information,
11 which can be put into your plans. So we've seen a lot
12 of communities actually give access to a lot of the
13 private sector industry right now to talk about their
14 backup generators: some of the caterpillar industries
15 and things that are out there, moving industries that
16 have backup generators. That they're partnering with
17 these local communities and starting to list what
18 information's available to some of these local
19 communities. So they're able to go through this
20 planning tool and start listing that information in
21 there, start categorizing some of this, so the locals
22 start understanding what's in their backyard, what they
23 have, what their needs are and coming together as a
24 partnership to try to come to these solutions.

25 So the planning tool is available to all

1 local governments. They have separate pages for each
2 one of the cities that have control over people and
3 members on their page, so that they can decide who has
4 edit rights to that page. Who has view rights or who
5 doesn't have rights for that matter. So other cities
6 can see each other's page only if given approval by
7 that local city on the planning tool itself.

8 We also offer technical support. That's a
9 big piece to the CaLEAP Project at this point. We go
10 out to communities and work with the local communities.
11 We bring different levels of expertise at this point.
12 We bring everything from project management to
13 emergency management to the energy sector. So we bring
14 a lot of new and evolving technologies. We're talking
15 to a lot of communities about the challenges of smart
16 grids. You know, does it make sense, does it not make
17 sense? When do you switch over to different types of
18 technologies? What's the best time to start over? Is
19 there a vision down there? What does solar look like
20 in 20 years from now? Do I start down that road now,
21 do I wait? When do I invest? Do I throw all of my
22 eggs in that basket?

23 We're talking with a lot of communities right
24 now who are switching over to electric vehicles. We
25 say that they're doing a very good job of reducing

1 their demand, but they're doing a very poor job right
2 now of really securing their supply. We're trying to
3 get that balance between the two, so they understand
4 that in an emergency if you switch over to all electric
5 vehicles what happens in disaster is your vehicle will
6 go 100 miles, stop and you have a paperweight in the
7 middle of the road.

8 So we're trying to let them understand that
9 what is the solution in a disruption? Where is the
10 backup, is there a better way of going? Don't put all
11 your eggs in one basket or if you do, understand those
12 vulnerabilities and risks. Don't trade one risk for
13 another without that understanding moving forward.

14 Current status of the project, actually this
15 is a little outdated believe or not since the printing
16 of this slide. We now have 45 cities, local
17 governments that have signed up, 4 more have just
18 joined us. There seems to be an increased interest the
19 more this message gets out to the locals, the more that
20 the individual cities and counties start hearing about
21 this program and the project and the process. It
22 starts growing with their neighboring communities. We
23 were just in San Clemente the other day, they signed up
24 and they're encouraging us to reach out now to Dana
25 Point and San Juan Capistrano saying that they have

1 these strong partnerships in the region and would like
2 them to go through the similar process as well. So it
3 growing and it is continuing.

4 We are looking at exploring funding options
5 for projects. One of the big things that we want to
6 say about CaLEAP is that it's not just another plan
7 that sits on the shelf, you identify projects and it's
8 off to the side. We're really looking for funding
9 sources, so we are working with FEMA, we are working
10 with Cal EMA, we're looking at other agencies that are
11 out there, CDFA, that have opportunities where we can
12 start leveraging some of these funds to start
13 implementing some of these projects.

14 Really the goal is to try to get projects
15 into the local communities to make them more resilient,
16 more resilient to these changes in our hazards, the
17 increase in these hazards. So we are working both
18 within CEC looking at different programs that are out
19 there. We do see this as a way of kind of centering
20 some of the programs that are out there, your energy
21 efficiency programs. Local governments start
22 understanding when does that come into play, when do I
23 start looking at energy efficiency into the building
24 versus backup generators on those buildings as well?
25 So it's really leveraging both programs and going hand

1 in hand, not just going down one single road, but
2 really figuring out what's the strategic approach?
3 It's kind of making my community more resilient kind of
4 moving forward.

5 This is a list of our participating local
6 governments. As I've mentioned we've added four more
7 communities since we've published this list. We can
8 definitely update that list before it goes out, so that
9 you have the most up-to-date list. But we have over
10 seven counties that are kind of working, some are
11 building regional types of energy plans at this point
12 where they're either one, leading the effort with the
13 local governments and the local government's building
14 their own local energy assurance plans.

15 And in some cases the county's actually
16 building a single regional energy assurance plan and
17 having the locals as their stakeholders in
18 understanding what their key assets are and what are
19 some of the challenges they're facing to start building
20 a regional approach to how they're going to respond to
21 some of these disasters and hazards.

22 With that, that's the end of my presentation
23 and I have some contact information. I'll take any
24 questions or...

25 CHAIRMAN WEISENMILLER: Thanks.

1 MS. KORESEC: Do we have any questions from
2 the audience? All right, in that case I think this has
3 come to the time where we have a final opportunity for
4 any public comments anybody cares to make before we
5 adjourn for the day.

6 Lynette, do we have anybody on WebEx? Can we
7 open the phone lines and see if there's anybody on the
8 phone who'd like to make any final comments? Okay,
9 well we have one stalwart phone person, your line is
10 open, is there any question or comments you'd like to
11 make? All right, hearing none I think we are finished
12 for the day.

13 I want to thank all of our presenters. We
14 had an excellent day, a lot of really good information.
15 And want to remind folks of when the public comments
16 are due, I believe it's June 18th, thank you. And I'll
17 put up a sign in a moment here that explains how to
18 submit the comments to the docket. And with that
19 Commissioner, do you have any closing comments?

20 CHAIRMAN WEISENMILLER: Well, again I wanted
21 to thank everyone for their participation. Obviously
22 climate change is one of the defining issues of the
23 time and certainly one of the things the state has
24 really focused on is doing a science-based analysis of
25 these issues in trying to determine how both to

1 mitigate and to be prepared, so thanks again.

2 (Adjourned at 4:20 p.m.)

3 --o0o--

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25