

DOCKETED

Docket Number:	15-IEPR-03
Project Title:	Electricity and Natural Gas Demand Forecast
TN #:	205689
Document Title:	Transcript of the July 7, 2015 IEPR Commissioner Workshop on the 2015 California Energy Demand Preliminary Electricity Forecast
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	8/12/2015 8:42:35 AM
Docketed Date:	8/12/2015

COMMITTEE HEARING

BEFORE THE

ENERGY RESOURCES CONSERVATION AND DEVELOPMENT

COMMISSION OF THE STATE OF CALIFORNIA

In the matter of,)
) Docket No. 15-IEPR-03
)
 Integrated Energy Policy)
Report (IEPR))

IEPR COMMISSIONER WORKSHOP ON THE

2015 CALIFORNIA ENERGY DEMAND

PRELIMINARY ELECTRICITY FORECAST

CALIFORNIA ENERGY COMMISSION

FIRST FLOOR, ART ROSENFELD HEARING ROOM

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

TUESDAY, JULY 7, 2015

10:05 A.M.

Reported By:
 Kent Odell

CALIFORNIA REPORTING, LLC
 52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

APPEARANCES

Commissioners

Andrew McAllister, Lead Commissioner for IEPR and Energy Efficiency

Chair Robert B. Weisenmiller, California Energy Commission

California Public Utilities Commission

Mike Florio, Commissioner

CEC Staff Present

Heather Raitt, IEPR Program Manager

Chris Kavalec

Asish Gautam

Malachi Weng-Gutierrez

Cary Garcia

Also Present

Steven Kelly

Melanie Gillette, EnerNOC

Yaman Nanne, (Via Telephone)

Sierra Martinez, Natural Resources Defense Council- (Via Telephone)

Hongyan Sheng, Southern California Edison

Tim Vonder, San Diego Gas & Electric

Jeremy Waen, Marin Clean Energy

Melanie McCutcheon, Pacific Gas & Electric

Dave Millar, Pacific Gas & Electric

INDEX

	Page
Introduction	
Heather Raitt, IEPR Program Manager	5
Opening Comments	
Commissioner Andrew McAllister, California Energy Commission	
Chair Robert B. Weisenmiller, California Energy Commission	6
Commissioner Mike Florio, California Public Utilities Commission	7
Statewide Forecast Results and Methods	
Chris Kavalec, Energy Commission Staff	7
Distributed Generation	
Asish Gautam, Energy Commission Staff	40
Electricity Rate Scenarios	
Malachi Weng-Gutierrez, Energy Commission Staff	63
Lunch	
Individual Utility Planning Area Forecasts	88
Pacific Gas and Electric	
Energy Commission staff presentation,	
Malachi Weng-Gutierrez	
Comments from Pacific Gas and Electric	
Southern California Edison	116
Energy Commission staff presentation,	
Malachi Weng-Gutierrez	
Comments from Southern California Edison	
San Diego Gas & Electric	126
Energy Commission staff presentation,	
Malachi Weng-Gutierrez	
Comments from San Diego Gas & Electric	
Los Angeles Department of Water and Power	137
Energy Commission staff presentation,	
Cary Garcia	
Comments from Los Angeles Department of Water and Power	

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

INDEX

	Page
Individual Utility Planning Area Forecasts (Cont.)	
Sacramento Municipal Utility District	145
Energy Commission staff presentation,	
Cary Garcia	
Comments from Los Angeles Department of	
Water and Power	
Public Comments	155
Adjournment	166
Reporter's Certificate	167
Transcriber's Certificate	168

1

1 P R O C E E D I N G S

2 JULY 7, 2015

10:05 A.M.

3 CHAIR WEISENMILLER: Commissioner McAllister is
4 joining a little late, but told me just to get this
5 thing going.

6 So, Heather, let's do it.

7 MS. RAITT: Great. Good morning. Welcome to
8 today's IEPR Commissioner Workshop on the California
9 Energy Demand 2016-2026 Preliminary Electricity
10 Forecast. I'm Heather Raitt, the Manager for the IEPR.

11 A few housekeeping items. Restrooms are in the
12 atrium, the snack room is on the second floor.

13 If there's an emergency and we need to evacuate
14 the building, please follow staff to Roosevelt Park,
15 which is across the street, diagonal to the building.

16 Today's workshop is being broadcast through our
17 WebEx conferencing systems and parties should be aware
18 that you're being recorded. We will post an audio
19 recording in a few days and a written transcript in
20 about a month.

21 Today, we'll break for an hour lunch at about
22 noon.

23 And at the end of the day there will be an
24 opportunity for public comments. And we're asking
25 parties to limit comments to three minutes.

1 For those in the room who would like to make
2 comments, please fill out a blue card and give it to me.
3 When it's your turn to speak, please come to the center
4 podium and speak into the microphone.

5 For WebEx participants, you can use the chat
6 function to tell our WebEx coordinator that you'd like
7 to make a comment during the public comment period. And
8 we'll either relay your comment or open the line at the
9 appropriate time.

10 And finally, we'll take comments from phone-in-
11 only participants.

12 If you haven't, please sign in at the entrance
13 to the workshop. And if you got here early, we have
14 since added some of the presentations. So, if you
15 didn't get them all, you might want to go out and get
16 the other presentations.

17 And comments are welcome. They're due on July
18 21st. And the notice provides the information for how
19 to submit comments.

20 And with that, I'll turn it over to the Chair.

21 CHAIR WEISENMILLER: Thank you, everyone, for
22 being here today. One of the more important things we
23 do as part of the IEPR is to adopt the Demand Forecast.
24 And so appreciate -- this is our preliminary draft, so
25 we appreciate everyone's comments.

1 CPUC COMMISSIONER FLORES: Mike Florio, from the
2 PUC. It's a pleasure to be here. If it's a little
3 cooler than last week, I'll take credit for it. And
4 looking forward to an interesting day. Thank you.

5 MS. RAITT: Okay, our first speaker is Chris
6 Kavalec, on the Statewide Forecast Results and Methods.

7 MR. KAVALEC: Good morning. I'm Chris Kavalec,
8 from the Energy Assessments Division. And I will be
9 starting out the presentations today looking at some
10 statewide results for our California Energy Demand 2016-
11 2026 Preliminary Electricity Forecast, or CED-2015 for
12 short.

13 I will also be talking about some of our key
14 inputs and assumptions that we make for the forecast.
15 We typically, also present a natural gas forecast when
16 we do our forecast workshop. However, for this IEPR
17 cycle, we've decided that we would combine our end-user
18 natural gas forecast with the natural gas forecast for
19 generation, and so on, that's done in our Supply Office.
20 So, we presented our end-user natural gas forecast
21 earlier this year.

22 So, today's only about electricity. A high
23 level summary of this forecast relative to previous
24 forecasts, we have a new geographic scheme that I'll be
25 talking about in a minute.

1 Overall, at a statewide level, electricity
2 consumption is down comparing our new CED-2015 mid-case
3 with the mid-case from our last adopted forecast,
4 California Energy Demand Update, or CEDU-2014.

5 There's a much greater decrease in electricity
6 sales and peak demand because of higher self-generation,
7 more specifically PV projections that affect sales in
8 peak.

9 Oh, I should probably mention the -- round out
10 the schedule today, before I go any further. So, after
11 my presentation we'll have Asish Gautam talking about
12 our self-generation forecast.

13 We will also have a presentation on our rate
14 scenarios. Lynn Marshall, who developed these scenarios
15 is on vacation this week, so Malachi Weng-Gutierrez will
16 be filling in for that presentation.

17 And then, in the afternoon we'll be doing
18 planning area forecasts for the major planning areas,
19 along with SMUD. And Malachi Weng-Gutierrez and Cary
20 Garcia will be making those presentations.

21 And after each of those presentations, the
22 utilities will be allowed, encouraged to come up and
23 make comments or a short presentation.

24 Back to the presentation. This is what we call
25 a baseline forecast only, meaning it doesn't include

1 additional achievable energy efficiency.

2 For the revised forecast, we will be including
3 AAEE savings, both for the IOUs, brought to us by the
4 CPUC's Energy Efficiency Potential Study, and for the
5 first time we will be attempting to do AAEE savings for
6 the POUs, using whatever data we can gather. So, that
7 will be part of the revised forecast.

8 Okay, statewide results. Before I get to that,
9 just a brief review of how we forecast, how we develop
10 our demand forecast. Starting at the top, we have our
11 key inputs and assumptions, econ and demo drivers,
12 historic consumption data, energy efficiency and other
13 demand modifiers.

14 And then, in the middle of the diagram there we
15 have the traditional models that we use for forecasting,
16 residential, commercial, transportation, communications
17 and utilities, or TCU and street lighting, agriculture
18 and water pumping, and industrial.

19 And our residential and commercial models are
20 full end-use models, meaning they're bottoms-up models.

21 Our industrial model is sort of a semi-
22 econometric, semi-end use models. And then the other
23 models are either econometric or trend analysis.

24 Off to the right there, we also have our
25 predictive model for self-generation, for the

1 residential and commercial sectors. And then on the
2 left we get forecasts for electric and natural gas
3 vehicles from our Transportation Unit.

4 So these results go to the summary model, where
5 we adjust for weather, aggregate, calibrate to actual
6 historic consumption.

7 Then we provide our peak model. These
8 consumption numbers at the end-use level and load shapes
9 are applied. And from that, we get an annual forecast
10 for peak demand.

11 We also have, for each of the sectors, a single
12 equation econometric model, which we use as sort of a
13 reality check compared to the end-use results. And we
14 also use these econometric models to make adjustments to
15 the main forecast. For example, for climate change,
16 which I'll talk about in a minute.

17 As usual, three demand cases. A high demand
18 case characterized by higher economic and demographic
19 growth, more aggressive climate change scenario, high
20 case for electric vehicles, lower electricity rates, and
21 less self-generation. In other words, we rig it so that
22 we get highest plausible demand, given our inputs.

23 And then the low demand case is basically the
24 opposite, except in the case of climate change where we
25 don't include any climate change impacts. And then our

1 mid-demand case has assumptions that lie between the
2 high and the low cases.

3 Looking first at statewide electricity
4 consumption, you see our three cases there, high, low
5 and mid. And the difference between the low and the
6 high, by the end of the forecast period, is around
7 20,000 gigawatt hours.

8 And then the mid-case from our previous forecast
9 in red there, from CEDU-2014.

10 I should mention that we were not able to
11 process the 2014 consumption data for this preliminary
12 forecast because we had some stragglers in terms of
13 turning in the fourth quarter of 2014 data. But that
14 will be remedied for the revised forecast.

15 CHAIR WEISENMILLER: Do you want to name any
16 names on the stragglers?

17 MR. KAVALEC: No comment on that one.

18 You'll see the two mid-cases are pretty close.
19 And the difference, really, comes at the beginning of
20 the forecast period because we have a rate increase from
21 2013 to 2014, that was not in our previous forecast, and
22 this pushes down consumption in our new mid-case below
23 the old mid-case at the beginning of the forecast. And
24 it stays below it through the end, through 2025, where
25 it's around 1,000 gigawatt hours below.

1 Turning to sales, however, there is much more of
2 a change because, as I mentioned, our higher PV
3 forecast. By 2025, we're about 13,000 gigawatt hours
4 lower than we were in the mid-case, comparing the two
5 mid-cases. So, we're dropping in our mid-case, in terms
6 of sales at statewide level, by a little bit less than 5
7 percent in 2025.

8 And more self-generation/PV, also has a
9 significant influence on peak demand. Again, the new
10 mid-case, significantly below the old mid-case by around
11 2,000 megawatts, by 2025.

12 The difference here, in relative terms, is not
13 as high compared to sales because we made it a downward
14 adjustment to our peak factors, the factors that we use
15 to convert PV energy to peak impacts. And Asish will
16 talk a little bit more about that later.

17 Statewide consumption per capita basically
18 mirrors the results from consumption. Although,
19 comparing the two mid-cases, they're a little bit
20 farther apart because we have a slightly higher
21 population in our new mid-case, which brings down the
22 per capita.

23 Overall, we're, of course, proud of our
24 relatively flat consumption per capita in California.
25 And we show that continuing. Although, later in the

1 forecast period it begins to go upwards slightly because
2 of more electric vehicles and because of a projected
3 increase in residential plug loads.

4 Okay, our new geographic scheme. The goal here
5 was to develop our planning areas so they match more
6 closely to balancing authority areas, and within Cal-ISO
7 to the transmission access charger or TAC areas.

8 We also increased the number of climate zones to
9 20, from 16. And within CAISO, these forecasting zones
10 are meant to approximate Cal-ISO's transmission planning
11 zones, the level at which they do their transportation
12 planning analysis.

13 And we will continue to discuss and make gradual
14 improvements in our refinement of our forecast results
15 because there is obviously need for that, with
16 distributed resource planning, and the need to have
17 information on locational EE and other demand modifier
18 impacts.

19 So, but that's where we are now, and we will
20 continue the discussion and determine a level, the next
21 level of geographic granularity to shoot for, beginning
22 with the next forecast.

23 This is what our old planning area scheme looked
24 like. The highlighted -- the eight planning areas. The
25 planning areas highlighted in green are where we have

1 made revisions. Those have changed compared to our
2 previous forecasts.

3 So, first off, what was our old PG&E planning
4 area now becomes the PG&E Transmission Access Charge
5 Area, in CAISO.

6 To do that, we basically had to pull out some of
7 the entities that were in our old planning area, but are
8 not part of CAISO. Like Turlock Irrigation District,
9 Modesto Irrigation District, a few others. So, those
10 are pulled out and what's left is our new planning area,
11 corresponding to the PG&E TAC area.

12 For Edison, it was a little easier. It was just
13 a matter of adding in Pasadena, which before was its own
14 planning area.

15 And those entities that we pulled out in
16 Northern California, from our old PG&E planning area,
17 those were combined with SMUD to give us a new planning
18 area, referred to as Northern California Non-CAISO,
19 NCNC.

20 Our other planning areas, LADWP and Burbank-
21 Glendale, and so on, are the same as before. And we add
22 another planning area, Valley Electric because, even
23 though it's fairly small, it is considered its own
24 transmission access charge area, so it becomes a new
25 planning area.

1 And here's a listing of our climate zones for
2 our revised planning areas. We have six climate zones.
3 Again, these are meant, at least in the CAISO territory,
4 to correspond to transmission planning zones for CAISO.

5 For PG&E, we have six climate zones, compared to
6 the five we had before.

7 For Edison, we have five, compared to four in
8 our previous forecasts.

9 Northern California Non-CAISO, there you see is
10 number four, now consists of three forecast zones or
11 climate zones, one defined as the SMUD Service
12 Territory, then the Turlock Irrigation District
13 Balancing Authority. And then number 15 there, the rest
14 of the Balancing Authority of Northern California
15 Control Area, aside from SMUD, is our third.

16 And you see there Valley Electric, which is both
17 its own planning area and its own climate zone.

18 And this is my feeble attempt to develop a map
19 to show these new climate zones. What I did here was to
20 attempt to show the climate zones that are now part of
21 the California ISO, which are most of the climate zones.

22 For the revised forecast, we'll get our GIS
23 people involved and develop more professional maps. But
24 this is what I have now.

25 So, Northern California, PG&E Planning Area,

1 climate zones 1 through 6. Southern California Edison,
2 climate zones 7 through 11. San Diego, down there at
3 the bottom, number 12. And over there in the middle, on
4 the Nevada border, we have dinky, little Valley Electric
5 as climate zone 20.

6 Okay, some of our key inputs and assumptions,
7 beginning with economic and demographic assumptions.
8 Our high demand case, as it has been in recent
9 forecasts, is defined as Global Insight's optimistic
10 scenario. Of all the scenarios we look at, this one
11 typically is the highest in terms of economic and
12 demographic growth.

13 For our mid-demand case, we have the Moody's
14 baseline scenario. And for our low demand case, Moody's
15 lower scenario, they call their lower long-term growth
16 case. And included in that was DOF population since
17 that, among the three here, Global Insight, Moody's and
18 DOF, DOF projected the slowest population growth. So,
19 that was part of the low demand case.

20 Overall, there's little difference compared to
21 the econ demo drivers that we used for CED-2014. We do
22 have in our demand forms, posted with our report, on our
23 website, a list of the key economic drivers, their
24 values, and the sources from which they came.

25 So, I'm only going to talk about the one

1 exception here, where there has been a significant
2 change in our assumptions, and that's the number of
3 households.

4 In the past, we tend to be fairly conservative
5 when it comes to projecting number of persons per
6 household. We typically have assumed that it is going
7 to remain flat, because that's what recent history tells
8 us.

9 The reason this is important is that for a given
10 population, the smaller the number of persons per
11 household you assume, that means the higher number of
12 households in all else equal a higher residential
13 forecast.

14 So, that has been our practice in the past. And
15 that you see the number of household assumptions for our
16 previous forecast in red there.

17 Now this time, because we're coming out of a
18 recession, we have an aging population, and we have most
19 economists projecting, including our economic vendors,
20 projecting a decline in the number of households, we've
21 decided to go with the flow this time and assume
22 declining persons per household. Which increases our
23 projections for the number of households.

24 So as you see here, all three of our new
25 scenarios are higher than our mid-case from the last

1 time. And this has an impact, particularly in Northern
2 California, where the rate of growth of number of
3 households is highest, PG&E and SMUD.

4 On to self-generation, we will see a
5 presentation on this self-generation and PV a little bit
6 later this morning.

7 We sort of divide it into two types, small-scale
8 adoptions in the commercial and residential sector for
9 technologies like PV, and solar hot water, and so on,
10 and our traditional, large industrial power plants. And
11 today we get data from that, from our QFER, Quarterly
12 Fuel and Energy Report.

13 For the residential and commercial small-scale
14 adoptions, we have predictive models that use costs and
15 benefits to develop a payback period for each
16 technology. And that payback period is transferred to
17 an adoption curve to give us a prediction for number of
18 adoptions in each year.

19 For this preliminary, for CED-2015 preliminary,
20 we refined our modeling in the residential sector using
21 actual load shapes. And, more importantly, we modeling
22 the adoptions using tiered rates, instead of just
23 assuming one average rate. And this made a big -- had a
24 significant impact, as we'll see in a minute.

25 So, going forward for the revised forecast, it

1 looks like that we may need to refine this assumption
2 because we are likely to see flatter tiers than what we
3 currently have.

4 Okay, statewide photovoltaic energy. You'll see
5 the big difference between our old mid-case there, in
6 red, and our three new demand cases.

7 So, by 2025, comparing the two mid-cases, we're
8 about 12,000 gigawatt hours higher in terms of
9 electricity generation from PV. And as I mentioned
10 earlier, most of this is coming from our -- this
11 increase is coming on the residential side because of
12 the changes we made to the residential model.

13 COMMISSIONER MC ALLISTER: Hey, Chris, can I
14 jump in a little bit there?

15 MR. KVALEC: Sure.

16 COMMISSIONER MC ALLISTER: So, it seems like
17 there are a few things going on. I mean, this is
18 obviously a very important influence on net demand at
19 this point, and sales.

20 MR. KVALEC: Uh-hum.

21 COMMISSIONER MC ALLISTER: And I think there are
22 some uncertainties there that -- this is an awful smooth
23 curve and, obviously, you know, it's a model so you kind
24 of expect that.

25 But there are some discontinuities coming.

1 Maybe you've got one of them happening at 2016, when the
2 ITC, the Federal ITC expires. So, it looks like you've
3 got a little sort of lower percentage growth there for a
4 little while.

5 MR. KAVALEC: Uh-hum.

6 COMMISSIONER MC ALLISTER: But I think also, so
7 this flatter-tiered period, I won't speak for the PUC,
8 but my understanding is this flatter-tiered period is a
9 temporary period and then after that there will be some
10 time of use, and that's all -- I mean, the details, you
11 know, TBD, obviously, but that seems like it's
12 relatively a good bet.

13 CHAIR WEISENMILLER: But I mean, this reflects
14 the current tiers increasing so --

15 COMMISSIONER MC ALLISTER: Yeah, exactly, so
16 that's kind of --

17 CHAIR WEISENMILLER: -- there has to be some
18 adjustment for that, too.

19 COMMISSIONER MC ALLISTER: So, yeah, exactly.
20 So, you're sort of -- I guess, you know, maybe it's a
21 little magic-wandy, but we do know something about what
22 the rate structures are going to look like going
23 forward. So, maybe the revisions of the model need to
24 take multiple inflection points into account, kind of.
25 So, I'll defer to Commissioner Florio here, on some of

1 the details, but you probably -- I'm not sure how much
2 you can say about this but --

3 CPUC COMMISSIONER FLORES: Yeah. Well, the last
4 Friday's decision contemplates residential TOU in 2019.
5 I'm not sure -- I mean, we don't really know what those
6 rates are going to look like. The general statement is
7 moderate differentials by time period, at least in the
8 default rate, but looking at having a menu of options.
9 So, it could be more complex than what we've been
10 dealing with, historically.

11 COMMISSIONER MC ALLISTER: Yeah. So, maybe
12 the -- you know, I don't know all the details of what
13 your inputs to your model and what your behavioral
14 conceptions are but, you know.

15 CHAIR WEISENMILLER: Yeah, again, one of the
16 things to keep into account is that the jump between the
17 red line and the other lines is going from an average
18 retail rate to a rate structure.

19 COMMISSIONER MC ALLISTER: Yeah.

20 CHAIR WEISENMILLER: And so, now that we have a
21 flatter rate structure, presumably that will pivot
22 things down a little bit, also.

23 COMMISSIONER MC ALLISTER: Exactly.

24 CHAIR WEISENMILLER: So, there's a lot going on
25 in this area.

1 COMMISSIONER MC ALLISTER: Oh, absolutely.
2 That's kind of my point here is that maybe, as you
3 refine the model, a predictive model, you can see how
4 well some of these new, anticipated scenarios map onto
5 your inputs and kind of figure out how you might be able
6 to reflect that.

7 MR. KAVALEC: Yeah, so I see our job, at least
8 for this particular model, is attempting to incorporate
9 both a flatter rate structure and the beginning of much
10 more widespread time-of-use rates. So, this is a work
11 in progress.

12 But this is where we are now and, obviously,
13 we're going to make some changes for the revised
14 forecast.

15 COMMISSIONER MC ALLISTER: Yeah. And maybe that
16 actually is, also, maybe more so a peak, a non-
17 coincident peak or a peak discussion, as well. Okay,
18 thanks.

19 MR. KAVALEC: Okay, speaking of peak impacts,
20 here's what they look like for our latest forecast.
21 Again, also, these are showing actual peak impacts, as
22 opposed to nameplate capacity.

23 By 2026, we're a little bit above 5,000
24 megawatts in terms of peak impact. And that corresponds
25 to around 13,000 megawatts in nameplate capacity.

1 Again, much higher than our previous mid-demand
2 case. Although the difference, in relative terms, is
3 not as high as I alluded to before because we're using a
4 lower peak factor to convert from energy to peak. So,
5 the peak difference, in relative terms, is not as high
6 compared to the energy difference.

7 COMMISSIONER MC ALLISTER: And so, are you
8 taking into account the specific, you know, utility
9 demand shapes in that? Is that an aggregate from the
10 individual utility levels, or the load areas, or
11 whatever? Or is this kind of a statewide -- is the
12 factor kind of a statewide factor?

13 MR. KAVALEC: It differs by utility.

14 COMMISSIONER MC ALLISTER: Okay.

15 MR. KAVALEC: And I'll let Asish speak to that
16 when he makes his presentation.

17 COMMISSIONER MC ALLISTER: Okay, great.

18 MR. GAUTAM: Okay, so the adjustments we made to
19 the peak factor was based on historical utility system
20 peaks for several years onto our production, PV
21 production profiles. And so, they do differ by the
22 different planning areas, as Chris had alluded to.

23 And there's an important thing here, and I'll
24 talk a little bit later in my presentation that there's
25 expectation of a shift to a later evening peak. And we

1 haven't really accounted for that. We want to talk to
2 the utilities a little bit more on that topic before we
3 make any changes.

4 COMMISSIONER MC ALLISTER: But this, the
5 megawatts there, are those -- is that a system peak
6 reduction or is that a sum of individual utility peak
7 reductions?

8 MR. GAUTAM: That's a sum of individual utility
9 peak productions.

10 COMMISSIONER MC ALLISTER: Okay, thanks very
11 much.

12 MR. KVALEC: Okay, while our Transportation
13 Unit attempts to develop an electric vehicle, a new
14 electric vehicle forecast, a new set of scenarios we can
15 all be happy with, we have resurrected our electric
16 light duty vehicle forecast from 2013, and updated it
17 based on the most recent historical sales numbers for
18 electric vehicles.

19 These scenarios, from 2013, consisted of a low-
20 demand case, which was meant to correspond to the most
21 likely compliant scenario from the ARB in terms of the
22 number and types of vehicles that will be produced and
23 sold to meet the ZEV mandate.

24 We also had a high case, where we increased the
25 number of plug-in hybrid vehicles using our model

1 predictions.

2 And then we had a mid-case, which was in between
3 the high -- exactly in between the high and the low
4 cases.

5 So, for our preliminary forecast this is what we
6 have. We will, hopefully, have another set of updated
7 scenarios for the revised forecast.

8 Now, this is a statewide forecast, so we have to
9 distribute this to our planning areas and climate zones.
10 And we did this through a regression analysis, where
11 electric vehicle ownership at the county level was
12 specified as a function of whether the county was rural
13 or urban, and per capita income. A fairly simple
14 formulation that we can improve on over time.

15 And because we made an adjustment for recent EV
16 sales, which reduced the mid and the high cases, for
17 those scenarios we have a slightly lower forecast for EV
18 consumption, compared to what we had in 2013 and in our
19 2014 CEDU update.

20 So, here are the scenarios, starting from our
21 current estimate in 2014, of electric light duty vehicle
22 consumption of around 300 gigawatt hours statewide.

23 In the high case, we reach around 9,000 gigawatt
24 hours by the end of the forecast period.

25 And then, in the mid-case, almost 7,000 gigawatt

1 hours.

2 The purple one there, the low case, as I
3 mentioned, that is corresponding to ARB's most likely
4 compliance scenario from 2013, for the ZEV Mandate.

5 There have been some tweaks made to the ZEV
6 Mandate since 2013. For example, the smallest
7 automakers no longer have to produce battery-electric
8 vehicles for sale.

9 So, we will -- assuming that in our revised
10 forecast we have a scenario that's based on a most
11 likely compliance case, that will change because ARB's
12 most likely compliance case will have changed.

13 Comparing the two mid-cases, as I mentioned,
14 we're a little bit below. And that's because, basically
15 because of the adjustment we made in the most recent
16 historical years to account for actual sales.

17 Underlying these consumption projections we have
18 our projected stock. And this is a total of battery-
19 electric vehicles and plug-in hybrid vehicles.

20 So, in the high case we're getting over 4
21 million vehicles on the road by the end of the forecast
22 period. And in our most likely compliance case, around 1
23 and a half million.

24 In terms of the composition, in the low demand
25 case, we have about one-third of the vehicles as pure

1 electric or battery-electric, and the rest plug-in
2 hybrids.

3 And in the high demand case, which as I
4 mentioned we added a lot more plug-in hybrids, we have
5 around 12 percent of the vehicles as battery electric
6 and the rest as plug-in hybrid.

7 In terms of efficiency, and here I'm talking
8 about what we have traditionally referred to as
9 committed efficiency. Efficiency from initiatives that
10 have been finalized, and approved, and funded. As
11 opposed to additional achievable energy efficiency.

12 So, in terms of committee efficiency, there's
13 not a lot to talk about because the new standards were
14 not adopted in time to include in this preliminary
15 forecast. Although, we will have some new standards to
16 look at for the revised forecast.

17 And, as I mentioned, we don't have AAEE savings,
18 yet, for the forecast. The CPUC's potential study is
19 not quite finished and we have to work with the CPUC and
20 Navigant to develop scenarios for these numbers, and
21 we'll do that in the summer and the fall. And as I
22 mentioned, also put together AAEE numbers for the POUs.

23 So, there are some new savings, however, to
24 incorporate for committed efficiency. We have 2015 IOU
25 programs that were not in our CEDU-2014. And we have

1 another year of publicly-owned utility programs for
2 2014.

3 Also, since our last forecast we have the
4 results of the latest Evaluation, Measurement and
5 Verification Study from the CPUC, for the 2010 to 2012
6 period. And those -- that study basically showed that
7 actual realized savings, overall, were not as high as
8 had been expected or reported.

9 So, we had to make an adjustment downward to our
10 efficiency numbers for 2010 through 2012 because of
11 these results. And, in fact, we made an adjustment for
12 the whole period of 2010 through 2015. Even though the
13 study period didn't apply to those latest years, it's
14 the best information we have in terms of realized versus
15 reported savings.

16 We did the same thing, we also applied this to
17 the publicly-owned utilities' expected or report savings
18 for the 2010 to 2014 period. Again, the study was for
19 the IOUs, but this is the best information we have.

20 Okay, so this is what the adjustment looks like.
21 What this graph is showing is accumulated efficiency
22 program savings, in this case for the IOUs, starting in
23 2010. So, the red line there is what we have in our
24 previous forecast in terms of savings starting from 2010
25 through 2014.

1 And then you'll notice after 2014 it starts to
2 decline. That's because we have no new programs and our
3 measured savings are decaying away over the rest of the
4 forecast period.

5 When we make the adjustment to account for the
6 EM&V results, we move down to the dark blue line. The
7 way we did this adjustment was CPUC had data down to the
8 measure level, which we converted to end uses. So, each
9 end use was treated differently because it had a
10 different realization rate.

11 But this is, the dark blue summarizes the impact
12 of all of these end use adjustments for efficiency
13 program savings.

14 And then, we have to add in new savings from
15 2015 and that brings us to the green line. So, the
16 amount of program savings we have starting in 2010, for
17 this preliminary forecast, is defined by the dark blue
18 line until we get to 2015, and then it becomes the green
19 line.

20 The same thing here for the publicly-owned
21 utilities, again the similar adjustment made based on
22 the latest EM&V study. However, in this case the last
23 year is 2014. We don't have reporting savings, yet, for
24 2015, for the POUs.

25 Again, starting in the red, that's what we had

1 in our previous forecast. Going down to the dark blue,
2 making the adjustments, then adding in the 2014 new
3 program savings. So, we have the dark blue up through
4 2013 and then the green from 2014 on.

5 Electricity rate cases, this is probably not a
6 good title as it confuses -- it might be confused with
7 actual rate cases. So, it's demand cases for
8 electricity rate scenarios is what this should be
9 called.

10 So, for this forecast we developed our own
11 electricity rate scenarios, with the new staff model,
12 which consists of a set of equations developed to -- or
13 formulated to develop revenue requirements and allocate
14 these revenue requirements to rate classes, and then
15 calculate average rates. And Malachi will talk a little
16 bit more about this new model in his presentation.

17 And then, we developed high, mid and low cases
18 by varying the expected demand, load demand, carbon
19 prices, and natural gas prices.

20 And overall, in our mid-case, for all the
21 different planning areas, this model gave us a rate
22 increase of between 20 and 27 percent in this 13-year
23 period, in our mid-demand case.

24 And we will be doing -- this is the first run of
25 this model. We will be doing another forecast for our

1 revised -- another set of scenarios for our revised
2 forecast and we will be seeking input from the CPUC, as
3 well as the utilities before we develop a new set of
4 rate scenarios.

5 As in recent or other recent forecasts, we
6 attempt to incorporate climate change through
7 temperature scenarios developed for us by Scripps
8 Oceanography. They run these global climate change
9 models and then they downscale the results of these
10 models to 50-square-mile grids in California.

11 So what we do is we match our weather stations,
12 that we use in our forecast, to the appropriate 50-
13 square-mile grid. And from that we get projections of
14 increases in maximum temperatures and, also, changes in
15 heating and cooling degree days.

16 These changes, first off for consumption,
17 changes in heating -- changes in heating and cooling
18 degree days are converted to changes in consumption
19 through our residential and commercial econometric
20 models.

21 Our peak forecast is adjusted using these
22 projected increases in maximum temperatures, translated
23 to a load impact through our peak econometric model. We
24 assumed climate changes impacts only in the high case
25 and the mid-case, not in the low case.

1 First, looking at the impacts on consumption,
2 the high demand case there in -- oh, by the way, what we
3 asked Scripps to do was provide us, among all the
4 different scenarios that they've run, a case, a scenario
5 that's roughly in the middle in terms of temperature
6 increase, and then one that's more at the high end, for
7 our high demand case.

8 So, for our high demand case, in green there, we
9 have an extra 1,200 gigawatt hours in electricity
10 consumption because of higher temperatures, more cooling
11 degree days.

12 Looking at the mid-case, however, you'll see
13 that there is not much of an impact. And that's because
14 in the scenario that they gave us for the mid-case,
15 there was a very high decrease in the number of heating
16 degree days. So, even though cooling is a much more
17 important end use for electricity than heating, the
18 decrease in heating degree days was so high that it
19 almost offset the impact from more cooling degree days.
20 So, we end up with a paltry 60 gigawatt hours of impact
21 by the end of the forecast period.

22 So, moving forward, I'm not sure if this mid-
23 case is anomalous or not. But going forward, what I'd
24 like to do, and I've talked to Guido Franco, our climate
25 change expert about this, is to develop a distribution

1 for these scenarios. And from that distribution, use a
2 mean and a standard deviation, or some other statistic
3 to develop our scenario. So that we are -- our results
4 don't depend so much on a case that may or may not be
5 anomalous.

6 On the peak side, much more what you would
7 expect, over 1,000 megawatt load impact by the end of
8 the forecast period in the high case. And a little bit
9 over 600 megawatts in the mid-case.

10 And at a statewide level, on average, this
11 corresponds to, in the mid-case, an increase in maximum
12 temperatures of about three-quarters of a degree. And
13 in the high demand case, about one and a quarter degree
14 increase overall, looking at a State average.

15 Demand response, we have traditionally included
16 non-event demand response in our forecasts. Meaning,
17 programs like time-of-use rates and permanent load
18 shifting.

19 More recently, we have begun to include some
20 event-based programs on the demand side. And the
21 reasoning is that for resource planning there are some
22 event-based demand response programs that can't be
23 integrated into the CAISO system. And, therefore, it
24 makes more sense, from a resource planning point of
25 view, to include these programs on the demand side.

1 So far, we include two types of programs, event-
2 based programs. critical peak pricing and peak time
3 rebates. However, when this discussion all shakes out
4 at the CPUC in terms of what constitutes demand side, or
5 load-modifying demand response, and what's supply side,
6 we may have some additional programs to include.

7 But this is what we have now. And the total
8 impact, incremental impact on load by the end of the
9 forecast period, for the three IOUs is around 260
10 megawatts. As I mentioned, future forecasts might
11 include more impacts, more programs.

12 We are also involved in an analysis of much more
13 widespread use of TOU rates, with the CPUC and the
14 California ISO. So, we have hired a consultant, who is
15 doing an analysis for various scenarios for TOU
16 participation and rate differentials. And we will
17 hopefully have some results to talk about towards the
18 end of this month.

19 COMMISSIONER MC ALLISTER: Hey Chris, on the
20 load modifying, where's your data coming from? Is it
21 mostly the evaluations of the PUC's programs?

22 MR. KAVALEC: That's right, the IOU evaluations.

23 COMMISSIONER MC ALLISTER: Is there any POU
24 activity there?

25 MR. KAVALEC: There is a little bit. And we

1 haven't looked at it, yet, but we do have some
2 information from the demand forms that they provide us
3 which --

4 COMMISSIONER MC ALLISTER: Okay, great.

5 MR. KAVALEC: -- we can hopefully incorporate
6 into the revised forecast.

7 COMMISSIONER MC ALLISTER: Do we get any input
8 from, you know, private companies, or third parties that
9 do demand response work, sort of aggregators and things
10 like that?

11 MR. KAVALEC: No, we do not.

12 COMMISSIONER MC ALLISTER: That just sort of --
13 maybe they could provide some insight on the future
14 there, too.

15 MR. KAVALEC: That is a --

16 COMMISSIONER MC ALLISTER: I mean, it's a little
17 anecdotal, but it's a little market intel that would be
18 nice, too. Yeah, I saw Melanie earlier, that's kind of
19 why I'm thinking of it. They're right there, she's
20 hiding.

21 But it just strikes me that there's a lot of
22 kind of market savvy out there, not just from Melanie's
23 company but, you know, there's a few of them out there
24 that maybe could help you look into the crystal ball a
25 little more clearly.

1 MR. KAVALEC: Yeah, and hopefully these folks
2 would also be involved in the CPUC's potential study for
3 demand response, which is getting underway.

4 COMMISSIONER MC ALLISTER: Yeah, great.

5 MR. KAVALEC: Because of the uncertainties
6 involved in this early stage for TOUs, the results of
7 this analysis will feed into the IEPR. However, they
8 will not be part of our forecast, at least for this
9 forecast. Maybe for 2017 on they will be, but not for
10 this forecast.

11 As just sort of an exercise here, given all the
12 attention to the drought, I looked at the potential
13 impacts of a continuing drought on our agricultural and
14 water pumping sector.

15 There's two types of water pumping, as you
16 probably know, surface water pumping from reservoirs,
17 and then groundwater pumping, with groundwater pumping
18 being more energy intensive. So, when you have less
19 rainfall, all else equal, you're going to have more
20 groundwater pumping and, therefore, more energy being
21 used or electricity being used. And that's what this
22 shows here.

23 So, the red line shows the gigawatt hours of
24 consumption in the ag and water pumping sector
25 statewide, assuming a continued drought. That is, for

1 this purpose I took an average of the last three years,
2 which is our drought period.

3 Compared to the case where we have -- we go back
4 to a 30-year average for rainfall. By the end of the
5 forecast period, we get around a 400-gigawatt hour
6 difference or impact from the drought, around two and a
7 half percent. So, not major, but this could be part of
8 a larger analysis, given the interest in the so-called
9 water/energy nexus here.

10 Next steps, of course we will incorporate
11 comments and we will have, as you will see this
12 afternoon, plenty to talk about with the utilities and
13 other stakeholders.

14 And we will -- luckily, we have the DAWG, Demand
15 Analysis Working Group, mechanism to do this. So, we'll
16 be having some DAWG meetings to resolve the issues that
17 we have in our respective forecasts.

18 We'll be, as I mentioned, updating our
19 historical consumption. We will also be, in October,
20 getting summer loads for California ISO and developing a
21 2015 weather-normalized peak as a new starting point for
22 our forecast.

23 Updating is always our economic and demographic
24 assumptions. And rates, again, we want to get the
25 utilities and the CPUC involved in this discussion.

1 Additional achievable energy efficiency for both
2 POU's and IOU's will be incorporated and we have new
3 standards, as I mentioned, to look at.

4 The revised EV and PEV forecast probably didn't
5 need a question mark. I'm pretty sure they will be
6 revised to some degree.

7 Also, we have a contractor working on
8 estimating, giving us estimates of additional
9 electrification, besides electric vehicles, from the
10 truck stops, and ports, and trains, and so on. So that
11 will be -- that additional electrification will be part
12 of our revised forecast. It's not in the preliminary.

13 And as usual, we have troubleshooting issues in
14 our models that we need to look at for the revised
15 forecast. In this case, I'll just point out the one
16 that seems the most important. There seems to be some
17 issue in terms of projecting plug loads in our
18 residential model. It seems to be a little high. It's
19 based on a series of equations for each planning area
20 and it looks like it's, for unexplained reasons,
21 increasing by a higher percentage than we think is
22 reasonable. So, that's something we need to look at for
23 a revised forecast.

24 And this has an impact on some of the planning
25 areas, particularly SMUD, where we think the residential

1 forecast may be a little high. So, this is something
2 we'll be addressing for the revised forecast.

3 And with that, I'll ask for comments and
4 questions.

5 CPUC COMMISSIONER FLORES: It's clear you're
6 working with PUC staff on a number of these. Are there
7 any areas where you need greater input than you've been
8 getting, that we could help out?

9 MR. KAVALEC: Can I get back to you on that?

10 CPUC COMMISSIONER FLORES: Sure.

11 MR. KAVALEC: I'd like to think that over a
12 little bit.

13 CHAIR WEISENMILLER: Certainly, would encourage
14 you, and your staff and our staff, to talk about the
15 rate numbers, both in terms of how the rate design is
16 changing and what that means on the PEV numbers. But
17 also, in terms of rate increases just to make sure we're
18 not -- yeah, I'm sure there may be other things. But t
19 hose are the two that jump to the top of my mind.

20 COMMISSIONER MC ALLISTER: I wanted to just
21 mention, you know, on the AAEE front, the fact that
22 there is quite a bit of collaboration going on between
23 the agencies on unpacking the impacts of codes and
24 standards, and trying to figure out what we think is
25 actually happening in terms of real adoption based on

1 code updates. Versus, you know, what's unrealized
2 savings that needs a program to go out there and capture
3 it. And so, I think that's an ongoing question that the
4 forecasting team here, you know, you and your colleagues
5 ought to be involved in to see really what analytical
6 resources we might need to go try to get to figure that
7 out. Because I think we're pretty macro right now and
8 we really need to dig into that a little more. A quite
9 a bit more, actually.

10 MR. KAVALEC: Yeah, and I want to say I
11 appreciate the CPUC for allowing the time and effort of
12 Navigant to provide us these AAEE numbers. It's a lot
13 of work and they are very cooperative.

14 Okay, thank you. And we will now hear about our
15 photovoltaic and self-generation forecast.

16 MR. GAUTAM: Good morning, everyone. My name is
17 Asish Gautam and I'll be going over the solar generation
18 forecast.

19 First, I'm going to talk a little bit about the
20 data sources we use to track DG activity in the State,
21 and then I'll go over some of the changes we made for
22 this forecast. And then I'll present the statewide
23 results. The individual planning areas will be given
24 later in the afternoon. And then, I'll go over our next
25 steps and take any questions or comments you may have.

1 Regarding data sources, we want to kind of
2 highlight the difference between using rebate program
3 data versus interconnection data for tracking the
4 installed capacity of DG, mainly of PV, and how we use
5 that to translate -- how we translate installed capacity
6 to energy and peak impacts.

7 In prior IEPR demand forecasts, we mainly relied
8 on utility rebate program data because it was easier to
9 access. They typically contain a lot more information
10 than I think what you would get out of the
11 interconnection data. And these data sets were
12 typically updated fairly frequently, so they served as a
13 useful proxy for interconnection data. And I've listed
14 some of the different DG programs that we had tracked.

15 Initially, what came up in the 2013 IEPR, we
16 were trying to reconcile our differences with the
17 utilities regarding the PV capacity. And we discovered
18 there was a lot more PV being installed than what the
19 rebate program data was showing.

20 And the reasons for that, you know, we were
21 still experiencing cost reductions in PV systems, they
22 had new types of financing and leasing arrangements that
23 made solar much more affordable, and not so dependent on
24 rebates.

25 And since we used rebate program data to track

1 DG activity, this is going to leave a hole in our DG
2 assessment. And so, we came up with two options for
3 remedying this data deficiency.

4 The first option was to use the IEPR's data
5 collection regulation to request PV interconnection data
6 directly to the utilities. This allowed us to get the
7 updated historical data for 2012 to 2014, for us to use
8 in this 2015 IEPR.

9 We have a longer-term effort to kind of look at
10 our existing data collection regulations and to try to
11 see what updates we need to do to collect this data on a
12 regular basis. That effort is still ongoing.

13 And I have a table here to kind of show you how
14 -- to show the difference between the interconnection
15 data and the rebate program data. So, this is focusing
16 just on the three IOUs' PV capacity additions for 2012
17 and 2013. The column labeled "utility" is straight from
18 the utilities' interconnection filings to us. And the
19 column labeled "CEC" is our estimate of PV additions
20 based on publicly available data sources.

21 And you can see by 2013, the rebate program data
22 is not really doing a good job of tracking
23 interconnection data. We would have been off nearly 40
24 percent for PG&E, about 12 percent for Edison, and over
25 50 percent in the case for San Diego.

1 So, this data issue is a pretty serious thing
2 for us and I think the PUC has also recognized that.
3 They have a proceeding ongoing to post utility
4 interconnection data online. I think that system's
5 supposed to go online later this fall. So, we're hoping
6 to maybe use that later on, in time for the revised
7 forecast.

8 Some other changes that we've worked on for this
9 preliminary forecast. In prior IEPR forecasts we've
10 relied on an in-house PV production profile, provided to
11 us by staff from our Efficiency Division.

12 The PUC has done a study of a portion of the CSI
13 program, about a year ago, and they've provided some
14 updated PV production profiles that we are now using.

15 Chris had talked a little bit earlier about
16 changes we made to our PV peak factors. These are
17 factors we use to the install capacity to estimate the
18 peak reduction from PV system coincident with the
19 utility peak.

20 In the prior IEPR, the utilities have kind of
21 commented that our peak estimates tended to be on the
22 high side. And so, what we did was we overlaid
23 historical system peaks for a couple of years and tried
24 to figure out how the PV systems -- what kind of
25 reduction can we expect that would be coincident with

1 the utility peak?

2 And, generally, we found the utilities have a
3 valid point regarding our factors being a little bit on
4 the high side. And so, we've adjusted our factors
5 downwards, on average about a 20 percent reduction.

6 And the peak factors become even more important
7 as you go out in the ten-year forecast. If you expect a
8 shift toward the later evening peak, so that's going to
9 reduce the PV peak impacts even further.

10 We're hoping to discuss this issue a little bit
11 further with the utilities and do some revisions to our
12 peak factors for the revised forecast.

13 We've also updated our PV cost estimates for the
14 forecast period. We're relying on the PUC's NEM public
15 tool for that data.

16 Chris had mentioned about the updates we've done
17 to how we forecast residential PV. This is mainly
18 focused on the IOUs. The reason for undertaking this
19 change had to do with the changes called for in the rate
20 design and the NEM compensation structure for under AB
21 327.

22 And in prior IEPRs, our forecasts for
23 residential PV was based on using average sector rates,
24 and we didn't really factor in net metering benefits
25 because most of our input data were on an annual basis.

1 And so, we've requested, in addition to the PV
2 interconnection data, load research data from the
3 utilities to help us, for the first time, account for
4 net metering benefits. And we're using retail rates for
5 the first time, for the IOUs.

6 I'm sure everybody understands that there was a
7 decision last week on some major changes to how
8 residential retail rates may look like in the future.
9 And there's also a proceeding to relook at how NEM
10 compensation may work in the future.

11 These are changes we haven't really factored
12 into our forecast, but we hope to do that in time for
13 the revised forecast.

14 COMMISSIONER MC ALLISTER: Asish, I want to just
15 ask a question. First, I want to really endorse that
16 effort because I think the customer response to the rate
17 incentive is really a key question. So, that will be
18 really interesting going forward.

19 I wanted to ask about the transition away from
20 the CSI database to other resources, largely at the PUC.
21 I guess, so the cost data that was in the CSI database
22 wasn't actually all that reliable. It was a little bit
23 inflated and it didn't really reflect real costs. And I
24 think it sort of -- you could use it for trending, but
25 not really much else.

1 What's the new tool that you're using for costs
2 and kind of where does it come from?

3 MR. GAUTAM: Oh, so the PUC, as part of their
4 evaluation of net metering, has developed a NEM tool to
5 allow users to figure out what different NEM
6 compensation structures will look like on their end. As
7 part of that effort, the PUC has also updated or
8 developed new PV installed cost projections.

9 COMMISSIONER MC ALLISTER: Oh, gotcha.

10 MR. GAUTAM: I think the --

11 COMMISSIONER MC ALLISTER: So, a retail, like
12 installed retail cost kind of thing?

13 MR. GAUTAM: Yes, that's what I believe, yeah.

14 COMMISSIONER MC ALLISTER: Okay, great. And is
15 that -- do you know, Mike, is that going to be an
16 ongoing commitment to keep that up or to track the
17 marketplace?

18 CPUC COMMISSIONER FLORES: Certainly try to.

19 COMMISSIONER MC ALLISTER: Yeah.

20 CPUC COMMISSIONER FLORES: I don't know how much
21 access we'll have to information as we move away from
22 the rebate structure, but it's certainly something we
23 want to try to keep.

24 COMMISSIONER MC ALLISTER: Yeah, and if we can
25 collaborate or help in any way, I think that would be

1 great. Because, really, the CSI database was just a
2 gold mine to help businesses evolve and get it right for
3 the customer. So, as we're moving towards more
4 dependence on interconnection data and other ways to
5 intuit what's going on in the marketplace, it's really
6 important to keep that as a high priority, I think. And
7 that will help you guys do a better forecast.

8 MR. GAUTAM: Yeah.

9 CHAIR WEISENMILLER: Yeah, I guess another thing
10 I was going to ask was when Severin did his paper,
11 recently, on PV, he was basically distinguishing between
12 tax benefits, rate design, and now.

13 And so, I guess going forward we should be
14 working with the PUC staff to have some scenarios on
15 them. I assume, as a bookend of the industry
16 preference, it stays exactly as it is and the utility
17 preference if it goes away. And then, presumably,
18 there's some more likely scenarios that we could try to
19 frame.

20 CPUC COMMISSIONER FLORES: Yeah, our target is
21 still the end of the year for a decision on the future
22 of NEM. I think we'll get party proposals later this
23 month, give them some time to take into account the rate
24 design changes. But, you know, that will be a big focus
25 for the rest of this year.

1 You know, I think December is probably
2 optimistic for a decision, so it may not be in time for
3 this forecast but, certainly, the next round.

4 COMMISSIONER MC ALLISTER: Great.

5 CHAIR WEISENMILLER: I think on all these things
6 that the update next year is going to really capture
7 more things which are in progress this year.

8 COMMISSIONER MC ALLISTER: I mean, as we all
9 know, there's so much hand wringing going on out there,
10 in the self-gen industry, not just solar, but self-gen
11 broadly, about kind of the confluence of events at the
12 end of 2016, you know, roughly with the ITC, et cetera,
13 and the rate reform, and NEM.

14 So, hopefully, that's not going to be the cliff
15 that folks fear. And I think that's part of the goal
16 here is to make it relatively continuous over time. So,
17 yeah, definitely I would concur to work with the PUC
18 staff on figuring out what the possibilities are there.

19 MR. GAUTAM: Yeah. So, the changes we've made,
20 we think is a step in the right direction. But there
21 are just so many moving pieces, as the Commissioners
22 have noted. And as time goes on, we definitely will be
23 looking at updating our data.

24 There was a mention of going to time-of-use
25 rates, so that's something we're definitely interested

1 in. And that's just something we have to handle later
2 on.

3 COMMISSIONER MC ALLISTER: Asish, one final
4 question. So, also, during the CSI there was some
5 sampling of systems that were -- that had monitoring on
6 them. You know, the whole monitoring regime was kind of
7 developed for the kilowatt-based incentive. But even
8 some of the smaller systems had monitors on them. That
9 the utilities, certainly, and the PUC had access to, and
10 some of that I think was made public.

11 In any case, the performance evaluations or
12 monitoring of systems going forward, is that system
13 still in place as far as you know? Is there data coming
14 in, load-shape data, production data from some sample of
15 PV systems, net metered PV systems coming in?

16 MR. GAUTAM: I think the systems that went
17 through the performance-based incentive are still
18 reporting. But I think that's going to transition out
19 because, as the CSI is kind of sunseting, there's not
20 that many projects, I think, that are still subject to
21 reporting their generation.

22 COMMISSIONER MC ALLISTER: Kind of like as soon
23 as they don't have to report they --

24 MR. GAUTAM: Yeah, I think they're only required
25 for like five years.

1 COMMISSIONER MC ALLISTER: Yeah.

2 MR. GAUTAM: We may be seeing an end to that. I
3 should probably defer to PUC staff on that.

4 COMMISSIONER MC ALLISTER: You know, I don't
5 know how critical it is because I think we -- they're
6 relatively well-characterized. But they do degrade and
7 kind of I think there is a long-term policy, important
8 question there about the long-term performance of those
9 systems, still. Also, again, it's relevant for the
10 forecast.

11 MR. GAUTAM: Yeah. So, other updates, focusing
12 on non-PV technologies. This is mainly the Self-
13 Generation Incentive Program. They also publish their
14 interview reports. The 2013 report was released around
15 May of this year and we have some timing issues. We're
16 not able to incorporate their findings into the
17 preliminary forecast, but we hope to address that in
18 time for the revised forecast.

19 In that report, we were hoping to see some more
20 discussion on storage, but it's kind of like the
21 contractor for that report felt it was a little too
22 early to look at storage, impacts from SCHIP. So,
23 that's another data issue or gap that we have.

24 Like with the prior IEPRs, we have updated
25 electric and gas rates that we will use. We're still

1 using average sector rates for the POUs. And for the
2 IOUs, again, we've gone to using actual retail rates,
3 but we escalate those rates based on the price forecast
4 supplied to us by the Supply Office.

5 Again, we have updated housing stock and
6 commercial floor space data.

7 Just a quick overview of our forecasting
8 approach. Our approach is a cost, benefit of cost
9 effectiveness framework, using the other agencies. The
10 metric we're choosing to use here is the payback period.
11 So, basically, we take the system costs for the
12 different technologies, those savings and any kind of
13 policy drivers, like incentives, and factor that into
14 the payback calculation.

15 That becomes an input to an adoption curve,
16 which gives us the penetration rate. And, you know,
17 this is the kind of the prototype S curve that's used to
18 forecast adoption of technologies over time.

19 We've received some comments from utilities
20 about moving away from some of these payback approaches
21 and that we're interested in learning a little bit more
22 on this. Hopefully, we'll have some upcoming DAWG
23 sessions on these forecasting approaches for DG. But
24 for now, this is kind of what we have.

25 The first result here, I want to go over, is the

1 statewide non-PV self-gen impact share. As Chris had
2 mentioned, the bulk of -- so, this data is really the
3 large combined hidden powers cogen applications that
4 report the data directly to us.

5 In 2013, our base year, the reported data makes
6 up a little over 90 percent of the energy impact here.
7 And then, the other 7 percent is what we estimate for
8 the Solar Generation Incentive Program.

9 So, it's hard to tell here, but we do have three
10 scenarios. But, unfortunately, the scenarios are very
11 close to one another. The reason being there are
12 offsetting effects based on how the assumption's
13 embedded in the scenarios.

14 For example, the high demand case has a lower
15 growth in electricity rates, which kind of dampens
16 interest in investing in DG. But then you also have a
17 lower price for your cogen of natural gas.

18 And then, also in the high demand case we have
19 more economic activity, so there's more opportunity for
20 onsite generation.

21 In the low demand case, you have higher
22 electricity growth, so there's more of an incentive to
23 invest in DG cogen. But then, you're natural gas prices
24 for cogen units are assumed to be higher, so that kind
25 of dampens the effect there.

1 And then, we have lower economic activity, so
2 less, slightly less in relative terms for DG, and the
3 net result is the three scenarios are very close to one
4 another. Compared to the last forecast, it's very
5 similar, but just about one percent higher.

6 One thing I wanted to point out here, the onsite
7 usage, as reported to us, tend to be centered in the
8 large industrial or mining sectors. And so, we don't
9 really create a forecast for that. We hold their output
10 constant over time.

11 When you look at historic data that's -- their
12 onsite usage tends to be fairly flat, and so the growth
13 you see there is coming from the commercial sector.

14 Another uncertainty here is that the bulk of
15 these large, industrial cogen projects also export a
16 fair amount of their generation to the grid. And quite
17 a few of them, of these generators, will have contracts
18 that may be expiring over the forecast period. And it's
19 not clear if they will continue to be generating, or
20 shut down, or what the situation will be there.

21 And so, our colleagues in the Supply Office are
22 taking a look at this issue for us, and we hope to
23 incorporate their findings in time for the revised
24 forecast.

25 Next is the statewide, non-PV, self-gen peak

1 effects. Similar to energy, the three scenarios are
2 very close to one another and just slightly above the
3 2013 forecast. Roughly about 100 megawatts higher,
4 compared to 2013.

5 Let's see, here we have the statewide PV, self-
6 gen impacts. Here, the three scenarios are easier to
7 distinguish from one another. The reason being the rate
8 effects, the rates -- the growth in rates have a more
9 noticeable impact among the scenarios.

10 So, in the low demand case, where the rates are
11 assumed to grow higher, they have more PV, the low
12 demand has lower escalation of rates, so they have a
13 little bit less PV.

14 The three scenarios are substantially higher
15 than the mid-case from the last forecast. Again, the
16 growth is mainly led in the residential sector. I think
17 by 2026, about 70 percent of the impact is in the
18 residential sector.

19 The nonresidential PV grows between 15 and 20
20 percent. So, there's a little bit of growth in kind of
21 the commercial side, but not as much as the residential.

22 We want to, again, note that we have to assume,
23 at least for this preliminary forecast, that the
24 existing rates in the NEM retail compensation will still
25 be in place over the ten-year forecast. But again, last

1 week, there was a vote on some major changes to how IOU
2 residential rates may look like. And we're hoping to
3 incorporate that into our revised forecast.

4 By 2026, PV accounts for nearly 9 to 11 percent
5 of consumption. We have a flattening, a slower growth
6 after 2016. That reflects the expiration of a tax
7 credit for the residential sector and a step down of 30
8 percent of the cost to 10 percent of the system cost for
9 the nonresidential sector.

10 One other thing I wanted to note is that even
11 though the three scenarios are substantially above the
12 2013 forecast, there's a reason to believe that at least
13 the near-term forecast for all three scenarios may be a
14 little bit on the conservative side.

15 The reason for that is when we look at the
16 progress, or the forecast results, we don't show the
17 IOUs meeting their NEM cap until the 2018-2020 time
18 frame. This is the cap the utilities have to offer net
19 metering benefits for their customers. It's set at 5
20 percent of their non-coincident peak.

21 But following the NEM redesign proceeding and
22 kind of looking at what the utility filings are showing
23 in their progress towards meeting their NEM cap, there
24 seems to be some expectation, at least in the case of
25 PG&E and SDG&E, they may meet their NEM cap as early as

1 next year. And maybe, by 2017, for Edison.

2 There's also -- when we talked to the utilities
3 a little bit about our results, there were some
4 questions about a rush to get projects interconnected to
5 take advantage of the tax credit and to get
6 grandfathered under the existing NEM compensation
7 structure. We haven't really tried to account for that.

8 One other note is I think this is the first time
9 that the PV self-gen impacts exceed the non-PV self-gen
10 impacts in our forecast. So, that's a pretty big shift.

11 This is the non-coincident PV self-gen, the peak
12 impacts. Again, a similar story to the energy side, all
13 three scenarios are above the mid-case from the last
14 forecast.

15 Touching back on the peak factors, if we were to
16 assume that the peak were to be later in the evening,
17 these curves would shift down. But that's something we
18 want to talk with the utilities a little bit more, and
19 in time for the revised forecast.

20 These are preliminary results. We hope to hear
21 from you about our approach, the reasonableness of our
22 results, and any concerns you may have regarding the
23 treatment of retail rates, the NEM compensation
24 structure.

25 And we did an optional scenario to take a look

1 at how residential PV may change if we were to model the
2 rate reform for the residential sector for the IOUs.
3 So, the blue line here is assuming the current tiered
4 rates stay in place, having the four tiers, and also
5 giving the full retail credit for net exports.

6 The red line is taking the tier flattening
7 schedule, from the April decision from the PUC. So,
8 here we have a shift from four tiers, to three tiers,
9 and then two tiers by 2018. And after 2018, we just
10 hold the 2018 tiers and escalate it by the retail rate
11 escalation from our price forecast.

12 And, you know, no surprise there, the
13 adoption -- you get a lot less adoption here. There's a
14 missed typo here. It says there's a 1,200-megawatt
15 reduction. There's actually about 1,600 megawatts. So,
16 I kind of apologize for that.

17 So, these rate assumptions have some very big
18 impacts that we need to address for the revised
19 forecast. But again, there's a lot of -- we've got a
20 lot of moving pieces. Nothing's been finalized, but
21 there's a lot of things that we do have to try to
22 address as best as we can.

23 Just a list of our next steps. For the revised
24 forecast, we want to update our historical data. We're
25 still trying to go through the new rate reform proposal,

1 approved last week. The net metering proceeding is
2 still ongoing. We'll try to see what we can incorporate
3 from that proceeding in time for the revised forecast.

4 Also, last week the utilities filed their
5 distribution resource plans. We're still going through
6 that to see where we can incorporate some of those plans
7 into our forecast.

8 We did not have time to address storage in this
9 preliminary forecast. We just ran out of time. But
10 we're hoping to do something on storage for this revised
11 forecast.

12 For the longer term, we have a project or we're
13 trying to initiate a project to change how we do our
14 long-term peak demand forecast to better account for the
15 changes in load shapes from DG, energy efficiency,
16 storage, and the electrification, and transportation
17 sector.

18 We're looking at some contracts over here, and
19 we are in the process of selecting a contractor.
20 Hopefully, we'll have a team in a few weeks and have
21 results in time for the 2017 IEPR.

22 And this concludes my presentation and I'll take
23 any questions.

24 CHAIR WEISENMILLER: A couple of questions or
25 comments. One is, just remind everyone that one of the

1 things we're doing this year is moving from a focus on
2 lining up the two agencies on energy efficiency to,
3 also, preferred resources.

4 So, we really need to make sure that as we go
5 through the methodology that that's being well-baked
6 with the PUC staff.

7 And I think the other thing is we've talked
8 about having -- as part of the DAWG, having a
9 conversation on this with the utilities. Are you
10 inviting some of the solar companies?

11 MR. GAUTAM: Yeah.

12 CHAIR WEISENMILLER: To, again, try to get their
13 perspective, some sense of their marketing plans.

14 The one gap that we're probably not picking up,
15 and you see this current arc in marketing of the solar
16 companies to say, okay, we have a limited window for the
17 tax credits. You know, if you're trying to go through,
18 say, PUC approval process, you know, the RFP approval
19 process, you're not going to get there. So, let's go
20 bang on the door of an Apple, or Google, or Kaiser, or
21 somebody and have something where there's a project
22 somewhere. It's nowhere close to that, but somehow
23 there's a link between them buying the -- or paying for
24 that power and that being used to credit.

25 So, again, that's something, you know, you talk

1 about how there's not a lot of additional CI. But I
2 think if you really pick up some of that more virtual,
3 you know, sales, you'll probably see a substantial
4 growth in that, particularly between now and when the
5 tax credits expire.

6 CPUC COMMISSIONER FLORES: Yeah, I think from
7 what I've been able to learn, it sounds like those are
8 mostly direct access transactions. And, you know,
9 there's a bill in the Legislature that would allow
10 another, I think it's 8,000 gigawatt hours, and that
11 would all be renewable. So, I think we can see, expect
12 somewhat more of those kinds of developments.

13 COMMISSIONER MC ALLISTER: Also, just I mean I
14 totally agree with both of those comments and was sort
15 of figure out a way to suggest that you get the solar
16 companies into the conversation. I mean, you know, my
17 experience is it's kind of hard to get them to share
18 their business models.

19 But the additional point I would make is there
20 is a pretty solid -- you know, you're looking at all the
21 data about cost, and rates, and stuff. But I guess
22 there's a pretty clear value proposition right now that
23 the solar, that the residential solar, you know, which
24 is the lion's share of the marketplace that you're
25 looking at, that the residential solar companies are

1 able to sell on. Right, which is, look, you've got to
2 beat the tier three price, basically, right.

3 MR. GAUTAM: Right.

4 COMMISSIONER MC ALLISTER: And so, the thing is
5 you can do a lifecycle cost assessment of the cost of
6 generation, if your installed costs of PV are good. And
7 you can match that up with different scenarios on the
8 rate side. You know, you take away the ITC slice at the
9 right moment, and everything.

10 And I think you're going to find that the
11 lifecycle cost of solar, you know, well done, at a
12 reasonable price is going to be below any reasonable
13 scenario for even possibly tier one in the future.
14 Right? And I'm not saying anything -- you know, this is
15 all public kind of opinion.

16 But I think the fears of sort of the demise the
17 solar, the retail solar industry, rooftop, are very
18 premature. And so, but it would be really good for us
19 to sort of hammer on that analysis, together with the
20 PUC, and say, look, what's the lifecycle cost under a
21 reasonable financing scenario? What's the competitive
22 price that a solar company, doing rooftop, could offer?
23 And how does that likely match up to the new rate regime
24 possibilities?

25 And I think that would help, I think, give us --

1 maybe, you know, the slam dunk value proposition goes
2 down a little bit, and those margins have to go down,
3 but I think it's going to be competitive. And it would
4 be really good to kind of have that analysis --

5 MR. GAUTAM: Okay.

6 COMMISSIONER MC ALLISTER: -- inform that
7 conversation with the solar market.

8 MR. GAUTAM: Okay.

9 CPUC COMMISSIONER FLORES: Yeah, I think that's
10 right that the no-brainer opportunities are going to
11 disappear with the tier flattening, but there will be a
12 broader opening to customers who it just didn't make
13 sense for before, as the lower tiers increase.

14 COMMISSIONER MC ALLISTER: Totally. I mean, if
15 you -- let's say, you know, 20 cents ends up being tier
16 one or something, you know, 18 or 20 cents. The
17 reasonable lifecycle cost for installed rooftop solar,
18 you know, a 4, 5 kw system is substantially lower than
19 that already, and it will probably only get more so.
20 And so, and that's a part for the ITC. You know, it's
21 right in there, in the teens. So, at least that's what
22 I think. So, for what it's worth.

23 But it would be good to kind of go in with that,
24 you know, put some boundaries on the conversation as you
25 sort of engage with some of the solar companies. I

1 mean, undoubtedly, we'll see some consolidation and the
2 market will shift. But I think there's still going to
3 be a very good value proposition.

4 MR. GAUTAM: Yeah.

5 COMMISSIONER MC ALLISTER: Great. Nice job,
6 thanks.

7 MR. WENG-GUTIERREZ: Good morning, my name is
8 Malachi Weng-Gutierrez. I work in the Demand Analysis
9 Office. And I will be presenting on the Preliminary
10 Retail Electricity Rate Projections. These were
11 prepared by Lynn Marshall. And her contact information
12 is here, if there are any questions afterwards. I'll
13 try to answer any questions that you have during the
14 presentation.

15 So these electricity rates were generated to
16 cover the sectors that were modeled in our forecast, as
17 well as the growth rates that were used by Asish to
18 influence the PV adoption.

19 And I wanted to start by just setting the new
20 model, the revenue requirement model into the context of
21 the IEPR forecasting process.

22 There are a number of inputs that are going into
23 this model and a number of the assumptions made. And
24 I'll be going through those, as well, to give you a
25 sense of what the vintage is of each of those inputs and

1 assumptions.

2 In general, these rates were developed in April,
3 in the April and March time frame. And so, really, much
4 of the current activity, both at the PUC and the
5 proceedings, as well as internally have not been
6 incorporated into these projections for the preliminary.
7 But we anticipate the staff will be looking at those to
8 incorporate them once we go and generate the revised
9 rates.

10 So, in particular, there are some GRCs in some
11 ARRA proceedings that have not been incorporated into
12 this and we want to make sure that we've gotten those in
13 to the final set of numbers.

14 It's also anticipate that once the values are
15 updated for the revised that we will be passing the
16 projections on to the CPUC staff for vetting, so that
17 we're attempting to be consistent with their
18 understanding of how rates and things will change
19 through the forecast period.

20 So, broadly speaking, the new model was used to
21 create three rate case sets that are then utilized and
22 correlated with certain demand forecast cases.

23 So, in the low electricity rate case, we have
24 basically used low natural gas rates, lower carbon
25 prices, and used higher sales to distribute those costs

1 over, which led to a lower general rate for electricity.
2 That is, of course, associated with the high electricity
3 demand case and lends itself to a higher demand,
4 obviously. Lower prices, you know, typically would have
5 higher energy demand, given all things equal.

6 Under the high electricity rate, we are using
7 high natural gas prices, high carbon prices, and we have
8 a set of a lower sales over which to spread all of the
9 fixed costs, and other costs, and that lends itself to a
10 higher general rate.

11 The mid-case is just a set of assumptions which
12 provide a mid, a rate case and it's associated with the
13 middle energy demand case.

14 So, this table shows all of the data sources
15 that are used in the preliminary electricity rate
16 forecast. So, for many of these, you'll note that they
17 reference either the CED-2014 update or a set of
18 preliminary numbers that were generated for our demand
19 forecast.

20 So, for example, the demand efficiency and
21 distribution generation row is really using the update
22 values from 2014 as the basis of the -- of those inputs.
23 So, once we have developed a set of preliminary numbers,
24 or the preliminary forecast numbers will actually be
25 used as the basis of the revised forecast.

1 Likewise, the natural gas numbers, as I
2 mentioned, were early NAMGas outputs from earlier this
3 year. Those are what are being used as the basis of
4 this. But we already know that those will be updated as
5 we move through the IEPR cycle. So, we fully anticipate
6 having some updated natural gas prices incorporated into
7 this analysis.

8 Likewise, the GHG prices were also preliminary
9 in nature and we anticipate updating those.

10 At the bottom, you'll notice there are a few
11 lines for distribution, transmission and public purpose
12 programs. These are currently in the preliminary set of
13 numbers, they are even utilized in the preliminary
14 demand forecast, are constant across all cases.

15 Staff anticipates, certainly, at least looking
16 at the distribution component of costs and trying to
17 develop a set of variables or variable costs across each
18 of the three price cases. And that's something that
19 staff will do before the revised forecast or the revised
20 projection of electricity rates are produced.

21 CHAIR WEISENMILLER: One of the areas we may
22 want to double check with the PUC staff, too, on is the
23 renewable percentage. This is 33 across the board. My
24 impression is one of the utilities will probably hit 40
25 like next year or so.

1 MR. WENG-GUTIERREZ: Right. That popped out to
2 me, as well, when I looked at this. I didn't hear from
3 Lynn about how she was anticipating looking at a varying
4 degree, given the Governor's goals, as well as the 2030,
5 40 percent sort of numbers that had been put out.

6 So, I know that she had 33 percent across all
7 three cases. I'm sure she would be open to looking at
8 varying the renewable values across the forecast.

9 CHAIR WEISENMILLER: Yeah, I guess the other
10 general question, up front, is do we have a sense of the
11 utility balancing accounts, whether they're pretty much
12 zero, or whether there's negative, positive? I mean,
13 this always affects retail rate forecast.

14 CPUC COMMISSIONER FLORES: Yeah, I think the
15 Southern California utilities have some fairly
16 significant, you know, amortization of under-collections
17 going on. And I wouldn't be surprised to see that
18 moderate in the future.

19 I'm not sure about PG&E. But I think with all
20 the rate-making around San Onofre, there was a buildup
21 of under-collection, some of which was mitigated by the
22 settlement, but not entirely. So, there may be, I think
23 particularly in San Diego, it seems like the current
24 rate is a little higher than what you expect as a long-
25 term trend.

1 MR. WENG-GUTIERREZ: Yeah, and my understanding
2 is that Lynn has looked at the balancing accounts
3 through, basically, earlier this year. But we'll be
4 looking at those as we progress through the summer and
5 she gets a better idea about how those might be playing
6 out in the near-term prices. But I think she did take a
7 look at those.

8 The only other thing I wanted to mention here
9 was that the transmission component here, I'll talk in a
10 little more detail in a few slides. But it is constant
11 across all the cases, but it is utilizing a tool
12 generated by the California ISO to estimate transmission
13 costs, and so that's the basis of it. And that tool is
14 updated on a regular basis.

15 Taking a look at the natural gas component,
16 these are basically breaking out the HUB prices for PG&E
17 and Southern Cal Gas, or SoCal Gas. And you'll note
18 that the SoCal Gas values are high. In the high case,
19 are the highest of all of them. And that really
20 reflects high natural gas demand from generation, as
21 well as growth in the industrial sector demand in that
22 region, lending itself to that high rate.

23 And you'll also note that in the following
24 slides that this high natural gas price does influence
25 the general Southern Cal Edison and other electricity

1 rates more so than, say, for PG&E because they are
2 higher in the high case.

3 So, here's the transmission access charge trend
4 line that's used as the input for the forecast. Again,
5 it's constant across all three price cases. The model,
6 itself, I think generates values through 2021. Staff
7 used a flat 2 percent real growth rate after 2021. So,
8 that's why you have a linear trend upwards there at the
9 end.

10 In general, these TAC charges represent high
11 voltage costs. And the model that's used or generated
12 by the Cal ISO is estimating these TAC rates based on
13 known projects that they are incorporating into the
14 tool.

15 This table just provides you a breakout of the
16 costs in the associated annual growth rates for each of
17 the elements of the revenue requirements that are
18 generated or that are used to generate the three rate
19 cases.

20 And, as noted, the distribution transmission
21 costs are constant across the three cases, for each of
22 the IOUs presented here.

23 I believe Lynn anticipates looking at, again,
24 creating a set of variable numbers or growth rates for
25 the distribution component. I don't believe she

1 anticipates on doing that for the transmission
2 component. But certainly, in the revised rates we
3 probably will see a set of variable distribution costs.

4 The other thing I wanted to say was that staff
5 did take a look at how responsive some of the prices
6 were to changing natural gas prices, and found that a 10
7 percent increase in HUB prices generally led to a 1.5
8 percent increase in the bundled rates. It probably
9 would vary, depending upon how the individual utility
10 would have -- you know, what mix natural gas comprises
11 their revenue requirements and their costs but, in
12 general, is about a 1.5 percent increase for a 10
13 percent increase in natural gas prices.

14 Now, I'm going to show a few slides that
15 basically show these for different sectors. It's just
16 representing all of the rates in 2013-2026 across the
17 different planning areas. And this is for the
18 residential rates area.

19 The higher natural gas prices in the south lend
20 itself to a higher variation here. And then, you know,
21 I think there's generally a lower distribution cost
22 associated with SDG&E. It's sort of hard to distinguish
23 here that the variation across from the -- from 2013 to
24 2026. But some of those things are the contributing
25 factors as to why there is a difference between, say,

1 SCE and some of the other areas.

2 The POU rates are based on the IOU growth rates,
3 but they also calibrated to actual rates. So, that it
4 was the method used for the POUs.

5 This is a very similar slide. It's just
6 showing, actually, the mid-case planning area results
7 for the commercial rates. Again, it's difficult to see
8 the impact of, say, the high or the different rates.
9 But you can see that there's a variation across the
10 different utilities and planning areas from 2013 to
11 2026. And it gives you an idea of the magnitude of the
12 change across our forecast time period.

13 COMMISSIONER MC ALLISTER: Malachi, it might be
14 good to see sort of these same utilities sort of as a
15 percent growth per year, or something like that, to kind
16 of distinguish, to be able to see the differences a
17 little bit better.

18 MR. WENG-GUTIERREZ: All right, yeah, that would
19 probably be helpful. I did take some time to think
20 about how it might be better represented. I know the
21 percent annual growth rates were showed in some of the
22 other slides so -- but you're right, on an overall basis
23 it would probably be good to show the aggregate growth
24 rates.

25 COMMISSIONER MC ALLISTER: Also, I assume you

1 have individual conversations with each utility, kind of
2 to get them to tune into this or --

3 MR. WENG-GUTIERREZ: I'm not clear what
4 conversations Lynn has had.

5 COMMISSIONER MC ALLISTER: Oh, right, yeah.

6 MR. WENG-GUTIERREZ: Again, she's the one who
7 generated these. I know that she has been looking
8 closely at all the proceedings and the activities that
9 are associated with the revenue requirements. And
10 plans, again, to vet them through the CPUC staff.

11 But I know we have had conversations, on the
12 forecast side, about doing comparisons between us and
13 the utilities to see, to determine what are the
14 differences. And rate has come up in those
15 conversations. But I'm not sure if Lynn has had other,
16 independent conversations with them.

17 COMMISSIONER MC ALLISTER: I was thinking more
18 of the POUs, than the IOUs, because I know you talk with
19 the IOUs quite a bit.

20 MR. WENG-GUTIERREZ: Sure.

21 COMMISSIONER MC ALLISTER: But some of the
22 smaller POUs, you know, that are on this graph might
23 want to have that discussion, as well.

24 MR. WENG-GUTIERREZ: Okay, right.

25 COMMISSIONER MC ALLISTER: Well, SMUD's always

1 here but --

2 MR. WENG-GUTIERREZ: Yeah.

3 COMMISSIONER MC ALLISTER: But like a Burbank
4 or, certainly, DWP, you know, I'm certain would --

5 MR. WENG-GUTIERREZ: Right, right. All right,
6 and then just to show the sort of variation across the
7 different preliminary -- or the rates of growth across
8 the different cases by utility.

9 So you can see, again, in the high demand case
10 or which would correspond to the low electricity rate
11 case, there is a significant amount of variance between
12 the low and the high cases for, say, SCE, more so than,
13 say, for SMUD. And that really is what's presented
14 here.

15 So, although this doesn't provide you with a
16 table of the annual growth rates, this does give you a
17 sense of the annual growth rates across the different
18 planning areas.

19 And this final table is just a comparison of the
20 CED-2013 rate cases for -- this is a residential mid-
21 case comparison between the 2013 numbers and then the
22 preliminary 2015 numbers.

23 And I think the biggest element here to note is
24 that the 2013 numbers, in the CEC-2013 Final, were
25 estimated values as opposed to what is being utilized in

1 the preliminary CED-2015 numbers, which are supposedly
2 actual values, and so better reflect current rates.

3 And beyond that, you see that across the
4 different planning areas there are certainly some that
5 are higher and some that are lower. But in general, I
6 think they're -- by the 2024 time frame, they tend to be
7 on the higher side.

8 And that was the final slide that I have, so I'd
9 be happy to answer any questions that I could.

10 COMMISSIONER MC ALLISTER: I think we're good.
11 Thanks, Malachi.

12 MR. WENG-GUTIERREZ: Great. Of course.

13 MS. RAITT: So, the next is we can break for
14 lunch, if you want to go ahead and do that.

15 CHAIR WEISENMILLER: Let's just -- I was going
16 to see if anyone has public comments, who's here now,
17 but won't be here at the end of the day.

18 Obviously, if you're going to be here at the end
19 of the day, hold on.

20 COMMISSIONER MC ALLISTER: You want to go ahead?
21 All right, we have two cards, Steven and Melanie.

22 MR. KELLY: Thank you very much for giving me an
23 opportunity to comment here.

24 COMMISSIONER MC ALLISTER: Absolutely.

25 MR. KELLY: This is very interesting. I wanted

1 to talk, very briefly, about the demand analysis and
2 that I think it's now time to put on the table kind of a
3 non-traditional demand analysis.

4 We're moving into a world where we are
5 increasingly penetrating clean renewables and a larger
6 role for energy efficiency.

7 One of the things we talked about yesterday, I
8 think this came up, was the fact that the impact of
9 those two major trends is that there's a higher
10 probability that you might have a generation occurring
11 in times when there isn't demand to take it, the over-
12 gen problem that we've been addressing.

13 And I actually think now is the time for this
14 agency to take the lead on starting to think through the
15 implications of that and how to deal with it from a
16 demand perspective. How to either shift demand and take
17 advantage of that clean resource or how to create new
18 demand for that demand resource.

19 We have filed comments in the IEPR, generally,
20 about this issue. But I think it's front and center in
21 terms of the demand forecast, too, which is why I'm here
22 today.

23 In my review of the preliminary demand forecast,
24 I kind of read through it very quickly, but I didn't
25 really see a focused attention on, for example, how can

1 we take advantage of that clean resource for economic
2 development?

3 We've briefly talked about the water/power
4 nexus. IEP has raised that issue in the scope of this
5 whole thing.

6 But I think, you know, to what extent would, for
7 example, desalinization solve multiple problems and how
8 would that impact the demand forecast?

9 To what extent would you shift --

10 CHAIR WEISENMILLER: So, the basic data,
11 Poseidon, 35 megawatts.

12 MR. KELLY: Thirty-five?

13 CHAIR WEISENMILLER: That's the largest single
14 desal plant in the Western Hemisphere.

15 MR. KELLY: But if you did ten of those --

16 CHAIR WEISENMILLER: So, you'd have to do 30 of
17 them to get to 1,000 megawatts. We've got more than
18 1,000 megawatts.

19 MR. KELLY: And I think that's one element of a
20 number of steps that the State should be considering to,
21 essentially, absorb this over-generation. And I think
22 now is a good time for this agency to take the lead in
23 thinking through those.

24 For example, if it's 35 megawatts for desal for
25 one plant, does it make sense to consider more? What

1 other options do we have on the table in terms of
2 shifting this demand and take advantage of it?

3 So, I just am here to urge you to think -- start
4 the process of thinking that through. We don't want to
5 wait until it's 2022, 2024 and see that we've got a
6 sizeable problem and haven't thought it through.

7 CHAIR WEISENMILLER: Oh, no, it's a good issue.
8 I mean, certainly, you know, your suggestion on desal
9 was good. We dug into it, as I said. When you think
10 about the costs and all getting to even, say, 30 of them
11 to get to 1,000 megawatts is well past our, you know,
12 quality.

13 But I mean, but the basic message when you look
14 at that, when you look at ZEV so, again, we're talking,
15 you know, depending upon how coincident the charging is,
16 you like 600,000 will get you to 1,000 megawatts. You
17 know, I think the imperative really drives you to think
18 what's right. You know, I mean, some of the other
19 things we're adding just are drops in the bucket.

20 And some of it, you know, the other problem with
21 desal, obviously, is it's baseload. You know, the 35
22 megawatts, they told me they've got about 5 megawatts
23 they can swing because of storage. Well, we'll take the
24 5 megawatts. But, again, it's not a panacea, I guess is
25 what I'm saying, in that sense. We need variable load

1 to match variable supply, and we're still struggling to
2 come up with that.

3 MR. KELLY: And I agree with that. I think it's
4 a broad array of solutions here, and I don't think one
5 thing will fix this.

6 But the other thing, we had raised the question
7 of to what extent would like real-time pricing in over-
8 gen periods help move demand? That's kind of a broader
9 issue, I get there. But it is something that I'd just
10 urge the agencies, across the board, to be considering
11 and thinking about as we move closer to 2024.

12 CHAIR WEISENMILLER: No, I agree. And I think
13 part of it, you know, is that while things were framed
14 in a real drama part for the rate design decision, the
15 fact that about five commissioners voted for
16 real-time -- you know, for time-of-use rates is a huge
17 step. It's a huge step for dealing with these issues.

18 Because we're going to be finding, again,
19 variations on it either being over-gen or under-gen,
20 depending upon what's happening to the intermittent
21 resources. So, it's a much different world than where
22 we were last year.

23 MR. KELLY: Yes, I agree. Thank you.

24 COMMISSIONER MC ALLISTER: And I want to add,
25 you know, I certainly agree with the imperative there.

1 The future of demand is not more of the same.

2 But we heard about a few things and there are
3 many other things going on. You know, some of the
4 behavioral staff is digging in and got several
5 contractors on to look at some of these behavioral
6 issues and what impact rates do have. And we've
7 sponsored a bunch of research about that.

8 And the Energy Commission really has, you know,
9 been an advocate of time-of-use rates for decades. And
10 I think we're seeing that, really, the technology, the
11 confluence of events and technology that we have today
12 is really enabling that the rubber hit the road on that
13 stuff. And so, that's incredibly exciting.

14 We're having kind of the technology, you know,
15 end-markets discussion kind of now, and it's all kind of
16 baking, really. And so that allowing us to really have
17 the conversation, okay, well, policy, at the policy
18 level what should we be pushing to implement that?

19 And so, I think there's still some questions
20 about, okay, well, what are the costs of various
21 scenarios, and how much should we really be investing on
22 the demand side, and enabling, you know, manipulation of
23 demand through markets? What's the avoided the cost of
24 that in terms of, you know, the distribution grid, and
25 investments that would otherwise be forced there?

1 So, I think, you know, please keep chiming in on
2 this because I think it's really an active conversation.
3 And I don't know that we know exactly what the right
4 answer is today.

5 CPUC COMMISSIONER FLORES: And I would note,
6 also, that the PUC decision not only endorses time-of-
7 use rates, but very much focuses on it's not a one-size-
8 fits all. I mean, there will be one rate that's the
9 default but, you know, the decision definitely
10 contemplates optional rates, with bigger differentials
11 to try to recognize the very thing you're talking about.

12 And a lot of challenges ahead but, hopefully --
13 and we're going to have working groups, and certainly
14 invite you to participate in those, in formulating what
15 the TOU rates will ultimately look like.

16 MR. KELLY: Great. I think, ultimately, it will
17 take a couple IEPRs. So, I'd just encourage you all to
18 put the issues out there, now, so we can have that
19 discussion.

20 COMMISSIONER MC ALLISTER: Well, I guess maybe
21 there's a question for the forecasting team as to
22 whether the methodology is kind of there, already, to be
23 able to do some of this work. To see, okay, how might
24 we categorize that wedge, whether it's desal, or
25 hydrogen generation, or any other way to absorb some of

1 the demand, or some of the excess supply.

2 MR. KVALEC: I'll just make a brief comment
3 based on what I think I heard. And that is I believe
4 that our analysis going forward needs to be more
5 integrated in terms of supply and demand. We tend to do
6 one piece and hand it off to someone else and they do
7 their analysis, and so on.

8 But we know the line between supply and demand
9 is blurring. And so, my recommendation going forward is
10 to think about more integrated analyses that bring
11 together a lot of these questions, both on the demand
12 side and the supply side.

13 COMMISSIONER MC ALLISTER: Totally agree. And
14 one thing I would ask Steven, so that's kind of a big
15 idea that IP's pushing and, you know, that's a good
16 thing. You know, sort of what the business model for
17 that idea looks like, and sort of put some numbers on
18 it, I think would be really good. You know, how might
19 that happen vis-à-vis the Coastal Commission?

20 Or, you know, I mean there are a lot of ideas we
21 can -- you know, a lot of potential barriers we can
22 imagine to that. So, you know, what would that look
23 like in practice might be a good thing to develop.

24 MR. KELLY: I'm obviously happy to work with you
25 on this. I mean, to lean on your staff a little bit for

1 fleshing out some of the details of this.

2 COMMISSIONER MC ALLISTER: Well, I was kind of
3 hoping you could do that and so our staff could focus on
4 what they're doing, too. Bring it as baked as you
5 possibly can.

6 MR. KELLY: We will cooperate. Thank you.

7 COMMISSIONER MC ALLISTER: Melanie Gillette,
8 yeah, go ahead.

9 MS. GILLETTE: Thank you. Melanie Gillette with
10 EnerNOC. Appreciate the opportunity to go now. And
11 thank you, Commissioner McAllister, for teeing up my
12 comments perfectly.

13 They definitely go to what Chris presented this
14 morning, this issue of how load-modifying demand
15 response resources are currently reflected in the
16 forecast. And the issue that's identified in the draft
17 report, and that Chris alluded to this morning, that
18 maybe additional programs will need to be included.

19 And I know this argument is certainly not new to
20 Commissioner Florio. We're very active at the PUC and
21 have raised this issue several times. We're very aware
22 of the potential study. We're involved in the working
23 groups on both the load modifying and the supply side,
24 and we're doing our best to stay engaged as we look to
25 integrate demand response into the supply side. But we,

1 of course, have an opinion on perhaps how much of the
2 currently defined load-modifying resources will
3 participate on the supply side.

4 And as you all know, with the bifurcation of
5 demand response at the PUC, resources that are
6 dispatchable and have been treated as supply side, are
7 now defined as load-modifying resources, particularly
8 the Aggregator Manage Program I'm referring to, now.

9 And so, this issue comes up. You know,
10 currently, I think we have about 200 megawatts. And I
11 don't know what that number is, all the aggregators all
12 in. But Commissioner Florio might have an idea. But we
13 think it's significant and we will have more in 2016.

14 And the immediate concern is that we don't have
15 a final decision, yet, on the demand response auction
16 mechanism, but we anticipate that soon.

17 So, it's everyone's expectation that there will
18 be some percentage of these load-modifying resources
19 participating in the auction. They're not included on
20 the supply side forecast. They're not included on the
21 load-modifying side, either. And I don't know exactly
22 what those megawatts will be. I think there's a cap,
23 maybe, of 15 megawatts. I'm not certain about that.

24 But anyway, that's our main concern is where are
25 these being counted? And we think it does definitely go

1 to the fact that the forecast for demand response is
2 showing no growth. And our concern is, is that in part
3 because these resources that we think are a significant
4 number are not being included on either side, currently.

5 And we understand that there's an expectation
6 that that definition will have to be expanded. But
7 we're talking about resources in the market, in 2016, so
8 it's a near-term concern. And we expect that those
9 pilots will go for two years, I believe. And then we
10 anticipate you will see more.

11 So, just raising the concern. I'm happy to,
12 again, elaborate on it in written comments. But thanks
13 for the opportunity.

14 COMMISSIONER MC ALLISTER: Thanks, Melanie. I
15 guess, Chris, is that a -- is there a response or sort
16 of the DR forecast and how it's treating some of those
17 resources that Melanie referred to?

18 MR. KAVALEC: Yeah, I think the idea going
19 forward is to do what we did -- we've done with
20 committed and uncommitted efficiency. So, we would have
21 DR impacts in our baseline forecast that are determined
22 by programs currently in place.

23 Then, we would have results from potential
24 studies, presumably, that would allow us to increase the
25 rate of growth of DR impacts beyond what's currently in

1 our baseline forecast. So, that's the way I see it
2 going forward.

3 COMMISSIONER MC ALLISTER: Thanks. So, we have
4 a couple people on WebEx.

5 MS. RAITT: Right.

6 COMMISSIONER MC ALLISTER: Probably want to just
7 give everybody the chance.

8 MS. RAITT: Okay, so Yaman Nanne, go ahead.
9 Yaman, you're line is open, if you had a comment.

10 Okay, should we go on to the next one?

11 Sierra Martinez, go ahead.

12 MR. MARTINEZ: Hello, can you hear me?

13 MS. RAITT: Yes, go ahead, please.

14 MR. MARTINEZ: Hi, my name is Sierra Martinez
15 and I'm representing the Natural Resources Defense
16 Council. Thank you, Commissioners, Chris, Malachi, and
17 Anish for the presentations today. This is a tremendous
18 undertaking and we appreciate your effort to develop a
19 statewide demand forecast.

20 We commend you for making improvements on the
21 previous demand forecast, particularly with creating a
22 locational scheme, accounting for climate change
23 impacts, and updating PV impacts.

24 I'd like to make two comments on energy
25 efficiency and one question on rates.

1 The first, on energy efficiency, when the energy
2 efficiency impacts were projected, it appeared to be a
3 declining shape for savings. And I want to note that
4 that is because the additional achievable energy
5 efficiency impacts have not yet been included. That
6 declining load shape is reflective of the fact that no
7 future programs and no future codes and standards have
8 yet been accounted for.

9 The second is that the forecast that accounts
10 for the additional achievable energy efficiency more
11 accurately reflects actual consumption. So, I look
12 forward to seeing that additional achievable energy
13 efficiency included in the revised forecast.

14 The second comment on energy efficiency is with
15 regard to the uncertainty demonstrated from EM&V
16 impacts. And I appreciate your demonstrating what the
17 reduction is due to the 2010 to 2012 EM&V report. And
18 I'd like to note that one additional year of energy
19 efficiency program savings fully accounts for that
20 reduction.

21 And with the POUs, it more than accounted for
22 that reduction. So, when we're thinking over the long-
23 term demand forecast, over 10 years, how much
24 uncertainty there actually is in energy efficiency, it's
25 more or less one year forward or backward.

1 My question on the rates was when it was
2 presented in an overall fashion, were those nominal
3 increases in rates or real increases in rates? Because
4 over the last decade, rates in California have not been
5 increasing much more than inflation. And so, accounting
6 for inflation, around one or two percent, per year,
7 would eat up a lot of that projected growth. Thank you.

8 MR. WENG-GUTIERREZ: So, this is Malachi,
9 Sierra. My understanding is those are real growth
10 rates. So, I can check back with Lynn about that. But
11 those, I believe, real growth rates.

12 MR. MARTINEZ: Thank you.

13 MS. RAITT: Okay, should we give the folks on
14 the line an opportunity?

15 COMMISSIONER MC ALLISTER: Do we think the other
16 WebEx person dropped off? It looks like it. Yeah,
17 let's do the phones.

18 MS. RAITT: Okay, so please mute your lines if
19 you're on the phone, unless you have a comment, because
20 we're going to open up the lines.

21 I think we're good to take lunch.

22 COMMISSIONER MC ALLISTER: Thanks everybody,
23 we'll see you back here at one o'clock.

24 (Off the record at 12:08 p.m.)

25 (On the record at 1:02 p.m.)

1 MS. RAITT: All right, welcome back to the IEPR
2 workshop on the Preliminary Electricity Demand Forecast.

3 So, for the afternoon we have Malachi, again.

4 MR. WENG-GUTIERREZ: All right, good afternoon.
5 My name is Malachi Weng-Gutierrez, still Malachi Weng-
6 Gutierrez. And I will be going over a number of the
7 planning area specific forecasts this afternoon. I will
8 be covering the IOUs and then Cary Garcia will be
9 following me with the POUs.

10 I'm hoping that after each of the planning area
11 forecasts that we present, we will open it up for the
12 opportunity for the utilities to come up and make
13 comments.

14 And I'm going to start off with Pacific Gas &
15 Electric. So, as Chris mentioned this morning, we
16 redefined the planning areas to be more consistent with
17 the transmission access charge areas that Cal-ISO uses.
18 This significantly changed the planning area associated
19 with PG&E. So, instead of having five climate zones
20 that we had in the previous IEPR, or previous update,
21 the CED-2013 and 2014 updates, we now have six climate
22 zones.

23 In general, the electricity consumption grew in
24 this area relative to the update in 2014. However, with
25 the increase of the adoption of PV, we see that the

1 sales in peak forecasts are down.

2 In general, we've seen a migration inland,
3 towards those climate zones in the Central Zone of
4 California. And that is borne out, you'll see it borne
5 out in the growth of the climate zones associated with
6 those regions in the PG&E territory.

7 So, since there is a difference in the planning
8 area definitions, it's not possible to do a apples-to-
9 apples comparison between the updated preliminary mid-
10 case and the update in 2014. But we can take a look at
11 the growth rates between the two mid-cases to see how
12 they are growing in comparison to one another.

13 And they are fairly close, 1.25 percent for the
14 new mid-case versus a 1.29 percent in the update.
15 However, I haven't provided the trend line for the
16 update in 2014, again because it's just not an adequate
17 comparison because of the redefinition of that area.

18 However, for sales, the planning area --
19 although the planning area definition has changed, we
20 did do some processing to evaluate and break out the
21 utility by the new TAC area definition. So, we can do
22 an actual comparison between the two. And, therefore,
23 the 2014 update value is presented here as the red line.
24 And you'll note that it is significantly higher. Not
25 only is it higher than the new values, but in the mid-

1 case, if you were to do a comparison between the two,
2 you'll note that for the new mid-case it's actually
3 growing at a slower rate over the forecast period. And
4 that's, again, due to the higher adoption of PVs.

5 The starting point, the difference between the
6 starting points, obviously, is pretty significant. And
7 that really is a factor due to the rates, differences in
8 the rates that we're using. We have a higher set of
9 rates to utilize this time, which lowers our initial
10 starting point.

11 And the impact, you'll note here in the actual
12 peak demand associated with PG&E, that the mid-case for
13 the 2014 update is running along the high case in the
14 new update for the 2015 forecast.

15 So, but in general, all of the cases that we
16 have now are lower and that does make sense given the
17 set of assumptions that we're using.

18 This is in actual net peak demand, so this
19 accounts for the new generation, as well as the actual
20 peak.

21 So, as Asish mentioned earlier today, the PV
22 energy is significantly higher in our new projections,
23 in the preliminary forecast. In the case of PG&E, it's
24 about 150 percent of energy that was seen in the update
25 for 2014. So, our mid-case is significantly higher and

1 for all of the reasons that he mentioned this morning.

2 This may be revised slightly as we go forward.

3 And Asish mentioned a number of factors that he's going
4 to include in evaluating the PV in the future, and for
5 the revised forecast. And we anticipate that all of
6 those will -- may impact how these PV energy is
7 distributed across the different planning areas.

8 So, in this case we're looking at almost 6,000
9 gigawatt hours of difference between the new and the old
10 cases in the 2025 time frame.

11 So, you might imagine that the increase in PV
12 energy would contribute more largely to the PV peak
13 impact. But as Asish also mentioned this morning, that
14 the peak conversion factors were actually, also
15 adjusted. And, therefore, the amount of actual peak
16 impact associated with the new PVs is not as significant
17 as you would imagine.

18 And in this situation, in the 2025 time frame,
19 it's about a thousand megawatts difference between the
20 two mid-cases in 2015, which is pretty significant,
21 still, even with the conversion factors.

22 So, with the plug-in electric vehicles we, as
23 Chris had mentioned this morning, we updated some of the
24 values for the regions, for the different planning
25 areas, and have reflected near-term sales to adjust what

1 we had produced in the 2014 and the 2013 IEPR forecasts.

2 In this case, for PG&E there's a difference
3 between the two, but it's not as significant as in other
4 planning areas. So, you see that we're slightly above
5 where we were for the update, but fairly comparable.

6 And as Chris mentioned this morning, there is an
7 intention that we will be bringing, certainly, the plug-
8 in electric vehicle topic to DAWG meetings in the
9 future, and we'll be working with the Transportation
10 Office, as well, coming up with what will be,
11 eventually, incorporated into the revised forecast.

12 All right, so I'm going to make an attempt to
13 explain this. I know Chris explained it on a statewide
14 basis, and it's going to be a similar explanation here.

15 The red line here is really the reported savings
16 that is not adjusted for anything. Then, accounting for
17 the recently completed EM&V study that evaluates the
18 realized savings from the different program areas, for
19 the 2010 to 2012 time frame, we used the results of that
20 study to create an adjustment factor which we applied to
21 the previous reported values.

22 That leads to the blue line that's here. And
23 then on top of that, for the 2015 time frame, we add on
24 the program savings associated with 2015, and that gives
25 us the green line.

1 So in aggregate, if you were to look at what was
2 incorporated into the preliminary forecast, it really is
3 a composition of the blue line, from 2010 to 2014, and
4 then the green line, from 2015 to the end of the
5 forecast period.

6 Looking at the growth in electricity consumption
7 for the different climate zones within PG&E, again,
8 these are the newly defined climate zones, we see that
9 the Greater Bay Area has a significant amount of growth
10 relative to the others, primarily due to commercial
11 sector growth.

12 You also have growth in the Central Valley and
13 Central and Southern Valley area, partially driven by
14 commercial growth, but also by the inland migration and
15 the population growth that we're seeing in those areas.

16 Now, this is significant in how that growth
17 represents itself in peak demand, in that in the Greater
18 Bay Area, since the commercial sector is growing, and
19 you also have a higher amount of PV adoption, you don't
20 see as a high an annual growth rate for the peak demand.

21 Whereas in the Central Valley and the Southern
22 Valley Region, you do see a significant growth rate for
23 the peak demand. And that's really due to the fact that
24 the growth is occurring in the residential sector more
25 than the commercial, as well as you have a much more hot

1 climate region in the valley. And those end uses
2 associated with the residential sector are much more
3 sensitive to that heat. So, you still have a
4 significant amount of growth in the Southern and Central
5 Valley climate zones.

6 So, staff sat down with the utilities, for each
7 of the different planning areas, and discussed the
8 forecasts that we had generated, and their forecasts,
9 and did a comparison to see how we measured up against
10 one another and what elements we probably would want to
11 look at working through, when we go into the revised
12 forecast work.

13 And for PG&E, in general we found that their
14 sales were higher and it's because of a number of
15 factors, and they're presented here. Higher starting
16 point. They had a slightly higher EV forecast than we
17 did. And they had lower growth in the electricity
18 rates. And then, they also had a higher industrial
19 forecast.

20 We'll be looking at each of these points with
21 them, over time, and looking at what the differences
22 are. And if, in fact, we would be making some changes
23 to our forecast for that planning area, specifically.

24 Given that, the peak demand forecast was pretty
25 close between the two, if you didn't account for the

1 starting point. So, the growth rates were fairly
2 similar to one another. And then, the PV forecasts were
3 actually fairly similar.

4 So, in general, we felt that it was a pretty
5 decent comparison. We'll be looking at the sales
6 information a little bit more closely. But, in general,
7 I think we felt it was a decent comparison.

8 And I think that's the end of my slides. So, if
9 there are any questions, I'd be happy to try and answer
10 them.

11 CHAIR WEISENMILLER: Yeah, I've got one, which
12 is just trying to understand, in terms of the PV
13 forecast, how did that vary across the different zones?

14 MR. WENG-GUTIERREZ: Asish, do you want to --

15 MR. GAUTAM: Let's see, for the residential we
16 saw more growth in the inland because that's where the
17 housing starts were going faster. But I think we still
18 show quite a bit of growth on the coastal area because
19 of the historical adoption occurring there.

20 I don't think we received any kind of PV
21 forecast from PG&E about the different zones, so I'm not
22 sure how to --

23 CHAIR WEISENMILLER: Yeah, I was going to
24 suggest one of the areas going forward, certainly, would
25 be to encourage -- it's good to get the overall numbers

1 lined up. I'm sort of curious, particularly when we do
2 transmission planning and all, you know, how it varies
3 across the different climate zones.

4 MR. WENG-GUTIERREZ: Okay, so we'll --

5 CHAIR WEISENMILLER: I'd like to think that it's
6 going to be more and more in the inland area, and having
7 affects there. But, you know, as I said, eventually we
8 need to be syncing over to some distribution planning.

9 MR. WENG-GUTIERREZ: Right.

10 CHAIR WEISENMILLER: So again, the more --
11 obviously, there's a limited granularity, but at least
12 knowing whether it's in San Francisco, or Central
13 Valley, it would help.

14 MR. WENG-GUTIERREZ: Right. And I think --
15 well, I mean Asish can speak to the factors that are
16 influencing the adoption in the different climate zones,
17 as he sort of alluded to there. But I would assume
18 that, yeah, the number of housing starts versus the
19 income distribution would change the adoption in the
20 different regions, as well.

21 MR. KAVALEC: And I should mention that we're
22 still in the process of transitioning our models into
23 the new geographic scheme. So, what Asish did -- what
24 Asish does in his model is he forecasts at the climate
25 zone level, but it's for our old climate zone scheme.

1 So, I had to map those to our new climate zones. So,
2 it's an imperfect mapping.

3 But as time goes by, our models will be set up
4 to forecast specifically, including PV, for the new
5 climate zones.

6 COMMISSIONER MC ALLISTER: But you'll be asking
7 for that, that data by the new zones, from the utilities
8 in terms of PV interconnection, and growth rates, and
9 all that?

10 MR. KAVALEC: At what level do we get the data,
11 now?

12 MR. GAUTAM: Right now, we've asked it for by
13 zip codes, so assuming we have --

14 MR. KAVALEC: Yeah.

15 COMMISSIONER MC ALLISTER: Great. I'll say the
16 same thing about EVs, as well, right. I mean the
17 adoption, we need to know those by geography. And we've
18 funded some stuff on that, lately, and I think there's
19 some good work going on with the incentive program data
20 to sort of figure out where the EVs are going, and what
21 the growth rates look like in different parts. So, that
22 would be very relevant, I think, for the distribution
23 planning.

24 MR. KAVALEC: Yeah, and as I mentioned this
25 morning, we get a statewide forecast that we attempted

1 to distributed to the different planning areas and
2 climate zones. But I think, ultimately, the answer is
3 at some point, given enough resources and time, our
4 Transportation Unit actually does these projections at a
5 much more refined geographic level so that -- we did a
6 distribution, but it was relatively simple, with a
7 regression. It would be great to have an EV forecast
8 from the ground up, at a much more disaggregate level.

9 MR. WENG-GUTIERREZ: Yeah, and our starting
10 point for the EVs is we have a very good starting point
11 because of both the rebate program data, but also the
12 DMV database that we have for the registration. So we
13 know, basically, where the vehicles are to begin with.
14 It's just where are they growing and why is the
15 distribution of vehicles getting distributed the way it
16 is? And that's where the regression this time around
17 came in.

18 COMMISSIONER MC ALLISTER: Oh, okay.

19 MR. WENG-GUTIERREZ: It's sort of a new method.
20 In the past we had used flat sort of rates, given
21 today's different -- you know, distribution across the
22 State. If we use those constant, it wasn't really
23 adequate and we had some comments back in 2013 about
24 that methodology. So, this time around we're doing
25 something a little more refined but still could use,

1 certainly, some improvement.

2 COMMISSIONER MC ALLISTER: Great, thanks.

3 MR. WENG-GUTIERREZ: So, I think, if there are
4 no more questions from the dais, do we open it up for
5 the comment, then, from the utilities? Yeah.

6 MR. MULLAR: Good afternoon, Commissioner
7 McAllister and Commissioner Weisenmiller.

8 On that last point, I'll just go straight from
9 the prepared comments. And our DER expert is telling me
10 that we actually have a lot of that GS spatial forecast
11 date in our recent EDRP filing. So, I would suggest
12 having a good look at that and we can talk offline about
13 some of those details.

14 But anyway, so my name's Dave Millar. I take
15 primary responsibility for developing PG&E's annual
16 electric sales and peak demand forecast, which we've
17 submitted as part of the IEPR forecast.

18 I work with a broad team of experts, who
19 specialize on the issues we grapple with as forecasters,
20 including understanding the effects of future energy
21 efficiency, distributed generation, demand response and
22 electric vehicles.

23 As you know, we live in an era of, you know,
24 great uncertainty with respect to forecasting the future
25 state of the electricity system. We are clearly seeing

1 a severing of the formerly ironclad link between
2 economic growth and electricity growth due to efficiency
3 in PV. And we now see flattened, declining sales as the
4 new normal for the foreseeable future.

5 We applaud Chris and the CEC staff for their
6 efforts to undertake this difficult task. And we are
7 pleased, and generally in agreement with the forecast,
8 with respect to both sales and peak.

9 So, on distributed generation, the CEC team has
10 worked with our subject matter experts to better
11 understand how we forecast DG. And we recognize, as
12 Chris stated in his presentation, that we are now much
13 closer in our assessment of growth of PV in our
14 territory.

15 We understand that the increase in CEC's PV
16 forecast is driven primarily by the revision of the
17 approach, now that they use tiered residential rates and
18 hourly load profiles to estimate bill savings from PV,
19 rather than average rates and usage.

20 While we believe this is a significant
21 improvement, and as Asish alluded to in his
22 presentation, we recommend that the CEC move away from
23 the payback method measure of cost effectiveness in its
24 retail PV self-generation forecast.

25 Under the current residential PV market

1 environment, in which zero down financing mechanisms
2 predominate, we believe this can -- the payback method
3 can result in under-estimates of future adoption.

4 Instead, we recommend that the CEC use an
5 approach that compares bill savings to typical prices
6 for solar leases and PPAs. Again, we want to underscore
7 the suggestion to explore this further in a DAWG
8 workshop broadly on DG forecasting. On energy peak
9 impacts, certainly. Also, to look at some of the non-PV
10 forecasts, including we see growth in fuel cells and
11 CHP, where I think in the CEC forecast it's pretty much
12 flat.

13 On electric vehicles we also agree with the
14 recent revision to the forecast. Our forecast is based
15 on -- also based on certain near-term PEV adoption,
16 registrations that we're seeing in the near term. So, a
17 one percent growth every month. So, pretty fast growth,
18 although from a small base.

19 And in the long term, our forecast is generally
20 consistent with Governor Brown's goals and the ZEV
21 action plans.

22 As Chris pointed out in his presentation, you
23 know, we do differ on our rate projections. And we
24 believe that average rates will grow much slower than
25 assumed in the preliminary CED. And this is primarily

1 due to expectations of lower procurement-related costs.

2 PG&E recommends that CEC revisit any -- we know
3 you will, but recommend that you revisit the rate
4 forecasts in the context of our recently submitted
5 forms, 8-1-A and B, which show our forecasted long-term
6 revenue requirements that we believe would likely result
7 in much more modest growth in rates.

8 And going forward, we would like to have some
9 more involved conversations with your team on rate
10 projections.

11 We also note that our industrial sales forecast
12 is higher. One of the few areas of sales growth that we
13 have seen is from the industrial sector. Which, if you
14 control for the departure of one of our largest
15 customers, it has grown about 8 percent since 2010.

16 So, we would like to continue to work with CEC
17 to highlight the positive growth trends in this sector
18 and discuss how to account for the level of adjustment
19 in the loss of that large customer.

20 On peak demand forecast, also we agree with the
21 assessment that our trends are similar, but that we do
22 differ on the starting point in 2014. We suggest
23 continuing to explore the issue of peak weather
24 normalization at future DAWG meetings.

25 So, that concludes my formal comments. I can

1 try and answer your questions. Like I said, our expert
2 on DR is here, so if you have any hard questions, you
3 can ask her. And I can direct, so that's it. Thank
4 you.

5 COMMISSIONER MC ALLISTER: Just one or two
6 questions. So, could you elaborate a little bit on the
7 industrial demand and sort of what your departing was,
8 or looked like and --

9 MR. MILLAR: Sure, I can.

10 COMMISSIONER MC ALLISTER: -- where are you
11 seeing growth in terms of what kinds of activities and
12 where?

13 MR. MILLAR: Yeah, so I can't name names of our
14 customer, but it was one of our largest customers,
15 period, who went off grid and went to self-generation.

16 COMMISSIONER MC ALLISTER: Oh, okay.

17 MR. MILLAR: And that happened in 2013. So, it
18 was a very large departure. So, if you don't control
19 for that, you'll see maybe declining growth. When,
20 really, the underlying fundamentals show that there's
21 growth in that sector.

22 You know, we do our forecast econometrically, so
23 we're not looking at each, individual customer. So,
24 we'll have to do a little more research on where the
25 growth is coming from, particularly. But again, this is

1 one of the few areas, that and agriculture, where we've
2 seen growth.

3 COMMISSIONER MC ALLISTER: And agriculture.

4 MR. MILLAR: Yeah, mostly drought related.

5 COMMISSIONER MC ALLISTER: Yeah.

6 CHAIR WEISENMILLER: Okay. Well, I guess for
7 the demand response question, I just wanted to
8 understand, as we're doing the load modification
9 approach, again how well we can sync up that,
10 particularly on a geographic distribution.

11 MR. MILLAR: Yes.

12 CHAIR WEISENMILLER: So, I don't know if we've
13 had any discussion or exchanges back and forth on
14 methodology, or numbers with PG&E?

15 MR. KAVALEC: I mean, for demand response?

16 CHAIR WEISENMILLER: Yeah, the load modifier
17 part of it.

18 MR. KAVALEC: No, we haven't.

19 CHAIR WEISENMILLER: Okay, so that would be
20 another area to follow up on.

21 MR. KAVALEC: Yeah. But again, this is based on
22 PG&E's DR MEC (phonetic) submittals, as vetted through
23 CPUC.

24 CHAIR WEISENMILLER: Okay.

25 MR. KAVALEC: So, hopefully, we're in somewhat

1 in alignment. It's the same data sources.

2 And on the industrial sector, I'll just mention
3 that I think a comparison of methodologies is in order.
4 We've looked at the data, too, and we don't see, even
5 looking at the near term and adjusting for a departing
6 customer, we don't see the same growth. But this may be
7 a function of the methodologies we're using, so we'll
8 have a sit down with them.

9 MR. MILLAR: There might be some categorization
10 things to iron out.

11 COMMISSIONER MC ALLISTER: It's always good, I
12 think, to do the econometrics and that's necessary. But
13 I think then to sort of true it up to what the realities
14 look like and use a little bit of a gut feeling.

15 MR. MILLAR: Yeah, well, at least the recorded
16 data is quite clear that we're on a very solid growth
17 trend.

18 COMMISSIONER MC ALLISTER: Let's see, you know,
19 I was going to ask another question, but I think I'm
20 going to pass. So, good for the moment.

21 Why don't we move on to the next. Is Edison
22 next?

23 MR. WENG-GUTIERREZ: Yes, so now we're going to
24 go to Southern California.

25 COMMISSIONER MC ALLISTER: Thanks very much.

1 MR. MILLAR: Yeah, thank you.

2 MR. WENG-GUTIERREZ: So, yeah, now we proceed to
3 Southern California Edison. The format's going to be
4 very similar to PG&E. All of them are very similar to
5 one another in the format of the actual presentation.
6 So, I'll just go through them fairly quickly.

7 So, as with PG&E, the SCE's planning area was
8 redefined slightly, and so there is a slight difference
9 in what the planning area is comprised of. So, there
10 might be some differences and difficulty in making a
11 comparison between the update in 2014 and the current
12 numbers. But we did have some post-processing, so we
13 can do some comparisons.

14 Generally, the electricity consumption growth is
15 down slightly compared to the update, and that's
16 primarily because of a faster number of housing growth
17 that was talked about this morning.

18 And then we also had a slightly lower EV
19 forecast. So, the EV forecast is, sorry, slightly
20 lower, but then we do have a number of households that
21 are growing in the region a little bit higher than we
22 had in the update, but they sort of counter one another.

23 In general, the sales in the peak are down.
24 Again, more significantly because of the higher PV
25 forecast. And again, we also have an inland migration,

1 which leads to a different growth pattern across the
2 planning area. So, those inland climate zones are going
3 to see higher growth than those on the coast.

4 So, again, taking a look at the broad
5 electricity consumption, we can't do a direct comparison
6 because of the planning area definition change, but we
7 can take a look at the growth rates and they appear to
8 be somewhat comparable to one another; 1.06 percent in
9 the new mid-case versus 1.13 percent in the update in
10 2014.

11 Then looking at sales, again, the new PV has led
12 to a significant decline in the amount of sales that
13 we're seeing. The PV adoption rates are fairly high
14 compared to last time. And so, therefore, our sales
15 numbers, if you compare the mids, are down.

16 So, if you look at the growth rates, even if the
17 .55 percent per year, versus a .99 percent in the
18 update, that's significantly different and we do have,
19 in the 2025 time frame, a fairly significant difference
20 there, maybe nearly 5,000 gigawatt hours.

21 Likewise, taking a look at peak demand, the
22 number -- the amount of -- almost in all, nearly all
23 cases here we have a set of lower numbers. And that,
24 again, is because of the -- well, again, it's because
25 the new case is about 1,000 megawatts below the update

1 mid-case in 2025. Again, driven by everything Asish
2 mentioned this morning, although we have higher adoption
3 rates for PV.

4 The amount of generation here is significantly
5 higher, as well. Similar to PG&E, it's nearly 150
6 percent of what we had generated for the update in 2014.
7 That's a significantly higher amount. And again, it's
8 because of the new tiered pricing and all of the other
9 factors that Asish had mentioned.

10 Certainly, for SCE, there's a big difference
11 here, 5,000-gigawatt hours between the new and the old
12 mid-case by 2025, and that's pretty significant.

13 Again, counting for the new peak conversion
14 factors, the magnitude of the influence on the peak
15 impact is not as significant as you might imagine.
16 Although, it's still significantly higher just because
17 the magnitude of the adoption is much higher than we had
18 in our update in 2014.

19 And the level here, in the mid-case, corresponds
20 to about a 4,500-megawatt capacity increase.

21 Looking at the EV forecast, or the demand
22 associated with the EVs in SCE territory, our numbers
23 are a bit lower than they were last time. And again,
24 this is partially due to updating the numbers for near
25 term sales, but also, then, our new allocation

1 methodology has contributed to this, I think, a bit.

2 And so, if you compare the two mid-cases,
3 obviously, ours are significantly lower than it was in
4 the update in 2014.

5 COMMISSIONER MC ALLISTER: Malachi, what's
6 driving that, sort of between last year and this year,
7 sort of seeing adoption slow down a little bit and
8 you're taking that into account or is it just --

9 MR. WENG-GUTIERREZ: No, so --

10 COMMISSIONER MC ALLISTER: -- really,
11 fundamentally, the model itself?

12 MR. WENG-GUTIERREZ: No, so the difference, the
13 only real difference is that the near term sales were
14 accounted for in this cycle. The variation that we're
15 seeing from planning area to planning area is a product
16 of the new allocation method we're using across the
17 entirety of the State.

18 COMMISSIONER MC ALLISTER: Oh, okay, I got it.
19 I got it, okay.

20 MR. WENG-GUTIERREZ: So, really, in general, if
21 you looked at the statewide numbers that Chris presented
22 this morning, it's not as significant.

23 COMMISSIONER MC ALLISTER: Okay.

24 MR. WENG-GUTIERREZ: And then, if you look back
25 at PG&E's, they were fairly close. But it all has to do

1 with how we're allocating the vehicles across the State,
2 as a whole.

3 COMMISSIONER MC ALLISTER: Okay. It would be
4 good to get Edison's view on whether that works for
5 them.

6 MR. WENG-GUTIERREZ: Sure.

7 COMMISSIONER MC ALLISTER: And each utility talk
8 about sort of whether this jibes with what they are
9 experiencing in their territory.

10 MR. WENG-GUTIERREZ: Yeah, and I know that the
11 EV topic is one that I think needs some discussion. And
12 I'm hoping that, you know, any feedback that the
13 utilities can provide and insights about how they think
14 would be best to approach this would be beneficial. I'd
15 be interested to hear what everyone says about this.

16 So, again, looking EM&V adjustments to the
17 energy efficiency programs, I won't belabor it too much,
18 but the red line is basically the reported set of
19 values. The blue line is the adjusted savings values,
20 accounting for the study results from -- the recent,
21 completed study results for the 2010 to 2012 program
22 savings. And then adding on top of that, the 2015
23 program savings, gives you the green line. So, again,
24 overall what's included in the forecast would be the
25 blue line from 2010 to 2014, and then the green line

1 through the remainder of the forecast.

2 And as you can see, it ends up being the net
3 effect of the adjustment and then addition of the 2015
4 savings basically cancel each other out, as Sierra had
5 mentioned that they're pretty much comparable, the
6 adjustment and the addition of the new savings.

7 Taking a look at the climate zones, the regional
8 growth rates, we see some similar things that we saw in
9 the PG&E territory.

10 The Eastern Territory's electricity consumption
11 is growing pretty significantly. And this is due to
12 commercial growth and also the hot weather in the east.

13 Peak demand here is also growing significantly
14 in the eastern area. But we see that the Big Creek East
15 Region, or the climate zone, actually has a significant
16 amount of peak demand growth. And that really is
17 because it's, again, a hot region. The growth here is
18 in the residential sector, which is very sensitive to
19 the hot conditions and certainly has those end uses
20 which are temperature dependent.

21 And then the LA -- the other thing I want to
22 note is the LA Metro Region, if you see here, it's not
23 as high a growth rate as you might anticipate, given
24 that the growth rate here is sort of comparable to some
25 of the other climate zones. And that may also partly be

1 because of the PV adoption in this region.

2 So again, with SCE we did a comparison of our
3 forecasts, our forecast to the SCE's forecast. And we
4 looked through them and came across a couple of things.
5 SCE's forecast, in general, is significantly higher than
6 our preliminary sets of numbers. They had a higher EV
7 forecast and, you know, it was pretty significantly
8 higher, 1,000 gigawatt hours. And so, of course, it
9 will be interesting to see if they could -- or what they
10 will comment on about our EV forecast.

11 And they had lower growth rates in general, in
12 the nonresidential area, higher commercial forecasts,
13 and then growth in actual sales in 2014. Which I think
14 we had discussed with them, as well.

15 And then, they had included a significant impact
16 to additional electrification, which we haven't really
17 included that component, yet. So, it's something that
18 we might be looking at including in the revised
19 forecast, so that might true up our numbers a little bit
20 more.

21 Peak forecasts in general were closer. And the
22 difference between them really were attributed to the EV
23 peak and the PV peak factors.

24 So with that, I think that's the end of my
25 presentation, so I'd be happy to take any questions.

1 CHAIR WEISENMILLER: Yeah, I noticed -- this is
2 Bob, again. My presumption is that, at least I think it
3 was last year, the sort of additional electrification
4 was an issue that certainly differentiated. So, I'm
5 glad to hear we've got some onsite support to help in
6 that area and presumably we can get a little closer. I
7 know there's a lot of work, particularly around the
8 ports, on electrification.

9 MR. WENG-GUTIERREZ: Yeah, and I certainly
10 believe that's part of that contract work that we're
11 interested in having the contractor weigh in on.

12 MR. KVALEC: Yeah, and we've had Edison, as
13 well as LADWP, involved in our electrification
14 discussions with the contractor.

15 CHAIR WEISENMILLER: That's good. How about the
16 port? I know, when I've met with the port, they had
17 just very high growth rates for the port. And I think
18 at this point, I think they're in the process of
19 revising those. But, again, a lot of electrification,
20 but also a lot of growth in what they were anticipating
21 at the ports, too.

22 MR. KVALEC: Yeah, and maybe Edison can tell us
23 where most of their growth in the electrification is
24 coming from, how much is from the ports versus other
25 sources.

1 CHAIR WEISENMILLER: Right.

2 COMMISSIONER MC ALLISTER: Isn't there
3 Federal -- aren't there Federal mandates coming around
4 that say the ports have to do --

5 MR. WENG-GUTIERREZ: It's actually a State. ARB
6 has an at berth regulation which requires certain fleets
7 to be electrified, given how many times they visit the
8 port, and the frequency of their visits and things.

9 So, they actually have to -- they're mandated to
10 be electrified and there's a schedule of how often, how
11 much of the time that they're at berth they have to be
12 electrified and all of that. That's essentially a part
13 of ARB regs.

14 COMMISSIONER MC ALLISTER: Okay, so that's ARB.
15 I worked at the port in San Diego quite a bit, and they
16 were trying to get ready for that transition, and get
17 ahead of it and stuff. And, I guess, also thinking
18 about drayage vehicles and things --

19 MR. WENG-GUTIERREZ: Oh, yeah, sure.

20 COMMISSIONER MC ALLISTER: -- really made the
21 push to electrify their facilities, generally. But a
22 lot of it was sort of a compliance issue where they had
23 to get the boats off of, you know, dirty power.

24 MR. WENG-GUTIERREZ: Right, yeah. So, the shore
25 powering is certainly part of the ARB regulation.

1 The other non-marine electrification is not
2 necessarily associated with that specific reg. But I
3 know there's a lot of interest in it, a lot of
4 demonstration projects. And I think staff has been
5 fairly well engaged with the ports about those topic
6 areas.

7 And I know, as part of the kickoff for the
8 contract work that we're looking at for electrification,
9 the ports were invited and participated in some of that
10 work, and contributed to informing that activity, as
11 well.

12 And so, I hope that staff will continue to work
13 with the ports to get a clear picture about what they
14 see as the growth in those regions.

15 COMMISSIONER MC ALLISTER: Yeah, great. And
16 then that's a good opportunity to triangulate with the
17 utilities and just make sure that everybody's on the
18 same page.

19 MR. WENG-GUTIERREZ: Of course.

20 CHAIR WEISENMILLER: And another group I'd add
21 to it is the military. You know, we've been working
22 pretty closely with them, and they're also looking at
23 electric -- you know, they have ports, really, and
24 they're certainly looking at electrifying those, also.

25 MR. WENG-GUTIERREZ: Right. So, I know Port

1 Hueneme and, well, San Diego, not the military component
2 of it, but the San Diego Port and their passenger ships
3 have to electrify, as well.

4 But yea, the military is another area that we're
5 looking at and discussion.

6 CHAIR WEISENMILLER: Good.

7 MR. WENG-GUTIERREZ: All right, so if there are
8 no more questions, then I think SCE's going to come up.

9 MS. SHENG: Good afternoon, Commissioners. Good
10 afternoon, everyone. First, I'd like to thank the
11 Commissioners for hosting this workshop and providing
12 the special opportunity for stakeholder comments.

13 Second of all, I'd like to really compliment the
14 demand forecast office at CEC for coming up with this
15 challenging forecast with all the uncertainties we face
16 in the future.

17 Also, I'd like to thank Chris Kavalec and his
18 forecasting team for working really closely with SCE
19 forecasting team throughout the forecast process,
20 keeping us updated and bringing the common
21 acknowledgement on the forecast differences.

22 So, for the forecast differences I'm going to
23 talk about here, today, are pretty much the common
24 recognition between our forecast teams. And we would
25 really like to work with CEC forecast team addressing

1 some of the significant areas for the revised forecast.

2 As Malachi mentioned, for the differences of our
3 annual sales forecast, one of the main areas that we see
4 the differences is really coming from our transportation
5 electrification forecast. Our EV forecast is slightly
6 higher and that's mainly driven by our assumption of
7 higher electric vehicle sales in the future. And, also,
8 the higher electric vehicle consumption in the future.

9 But I think we are positive that, you know, once
10 CEC incorporates the additional transportation
11 electrification load forecast, that's non-EV related,
12 our forecast differences would be reduced.

13 So, we'd be happy to work with CEC and the
14 Aspen Environmental Group to provide any inputs we have
15 on this area.

16 One of the things that we pointed out before is
17 there's a recently completed TE study that could be a
18 really good reference for that area of forecast.

19 What I really want to highlight is our peak
20 demand forecast differences, where we see the
21 differences we have on the EV peak contribution and,
22 more specifically, the solar PV peak load contribution.
23 We have discovered that even though our solar PV
24 forecasts, in terms of capacity, are higher than CEC's,
25 but when we look at the future peaking pack from the

1 increasing solar PV load, we actually recognize that
2 because SCE has accounted for the future peak hour
3 shifting facts. So, we would actually see a decreasing
4 peak impact from the increasing solar PV load for the
5 future years.

6 So, I'd really like to highlight that fact and,
7 hopefully, help everyone gain a better understanding of
8 that.

9 So, this graph is created for illustration
10 purpose. What we show here is the upper boundary
11 reflects the typical Cal-ISO system peak day hourly load
12 shape. As we expect, you know, we will add more solar
13 PV capacity into the system at some point in time. You
14 know, we expect, you know, additional 5,000 megawatt
15 solar PV capacity into the system.

16 We would actually likely to see the peak hour
17 shift from hour 17 to hour 18. As a result of that,
18 when we account for the future solar PV impact to the
19 peak hour, SCE is looking at a much reduced solar PV
20 peaking pack, compared to CEC's forecast is looking at
21 the increasing solar PV impact in the future because of
22 the increasing solar capacity projection. And, also,
23 assuming the same peak hour would hold constant into the
24 future.

25 This actually creates a significant difference

1 in our peak forecast, as you can see from the chart, by
2 2026. Our solar PV reduction would be 1,000 megawatts
3 less than what CEC has attributed to the peak reduction
4 from solar PV site.

5 So, what we'd really like to see in the CEC
6 revised forecast is for CEC to incorporate the latest
7 available information. And, also, consider
8 incorporating all the additional potential TE load
9 growth from the other sectors that's non-EV related.

10 And we'd be happy to work with CEC to examine
11 the peak hour shift effect to reflect the appropriate
12 solar PV impact.

13 In terms of the accounting for the uncertainty
14 of the future TE adoption and TE related electricity
15 use, we believe strongly that it would be great for CEC
16 to take account of the governmental environmental goals
17 into account.

18 And also, providing more transparency and
19 consistency over the scenarios that we would develop for
20 both the EV and other TE load forecast.

21 So, that's my comments. Any questions?

22 COMMISSIONER MC ALLISTER: Could you go back to
23 the illustrative -- that one there. So, in that curve
24 there, you know, the peak consumption moment hasn't
25 changed, right, it's really just the net load has

1 changed. That's right?

2 MS. SHENG: Right, it's net demand. This is all
3 behind the meter solar PV generation. So, this has
4 not -- this before accounting for the supply side of
5 solar generation.

6 COMMISSIONER MC ALLISTER: Yeah, so I guess I'm
7 trying to sort of parse that. I want to ask Chris or
8 Malachi, the -- let's see, so you end up pushing the
9 peak backwards. And so, you know, I get there. But I
10 guess it doesn't -- or do you see consumption, itself,
11 so apart from behind the meter or not, do you see
12 consumption itself shifting into the evening or, really,
13 just that's a function of the fact that you've got a
14 bunch of PV on the grid.

15 MS. SHENG: Yes, the net demand, not the
16 consumption.

17 COMMISSIONER MC ALLISTER: Yeah, so I guess it
18 seems like, you know, it used to be that we talked about
19 load factor and we looked at the -- you know, it was a
20 one way system, and we had a load factor, and it had a
21 peak, and that sort of was seasonal, and got bigger or
22 smaller and we worried about those sorts of things.

23 But here, we're in a kind of more complex
24 situation where we have demand and supply interacting.
25 And so, I think I want to make sure that we're talking

1 the same language between our staff and Edison about how
2 to sort of quantify that peak effect. Because the fact
3 is that an incremental marginal PV system that goes on
4 still does, you know, at 1700 hours still pushes that
5 demand curve, that net curve down, right.

6 MS. SHENG: Right.

7 COMMISSIONER MC ALLISTER: So, at the moment of
8 peak consumption.

9 MS. SHENG: Right.

10 COMMISSIONER MC ALLISTER: Right. So, I don't
11 necessarily -- I think reasonable people could have a
12 discussion and come down somewhere in the middle in
13 terms of how to quantify the peak reduction of PV.
14 Because your net peak is already lower than your
15 consumption peak, right? Anyway --

16 CHAIR WEISENMILLER: Primarily, earlier in the
17 afternoon.

18 MS. SHENG: So, I think we are not simply
19 looking at the peak of the consumption, but eventually
20 looking at the net peak --

21 COMMISSIONER MC ALLISTER: Absolutely.

22 MS. SHENG: -- after accounting for the solar
23 PV. That's just a natural effect of we adding so much
24 solar PV into the system. And, eventually, we would be
25 pushing the actual peak hour to later.

1 COMMISSIONER MC ALLISTER: Yeah, you know, I get
2 that. I guess I'm just noting the fact that the actual
3 peak hour is still lower than what the peak would have
4 been -- than what the distribution system has to carry,
5 I guess is what I'm saying.

6 MR. KAVALEC: Part of the confusion we always
7 have is in the definition of the peaks. So, we always
8 use a definition here of net peaks, that's net of any
9 self-generation.

10 But I think going forward it would probably be
11 useful to also start reporting the customer peak, the
12 actual end-use peak, and go from there to the net peak,
13 rather than just reporting the net peak.

14 COMMISSIONER MC ALLISTER: Yeah, I mean, I guess
15 I wanted to know maybe from Edison, but also the other
16 utilities, you know, how is your -- under this scenario,
17 where you've got a lot of behind the meter, some of it's
18 getting pushed out into the distribution grid, much of
19 it's being consumed on site. How is that impacting the
20 way you think about optimization of the distribution
21 grid? Like, does load factor actually even capture
22 what's going on before?

23 But, you know, I would like to know sort of what
24 is your load factor evolution, is it going down?

25 MS. SHENG: Yes, we will see the -- load factor

1 has been going up over the last decade, but we're seeing
2 it's going the other way in the future. And that's an
3 area I think it could also vary geographically. This is
4 an area, definitely, we need to examine more, the
5 changing fact, now that we have all kinds of DR
6 resources that could impact both demand and supply side.

7 COMMISSIONER MC ALLISTER: Okay.

8 CHAIR WEISENMILLER: Yeah, I think part of the
9 question is this is -- you know, there's a spatial and a
10 temporal. So, a spatial, you have a lot of coastal fog
11 which is going to affect things.

12 Temporal, this has like a 6:00 p.m. peak. So,
13 the solar impacts vary throughout the year as you go
14 from winter with, you know, basically the sun going down
15 much lower, peaks being higher. And then in the summer,
16 again, things shifting around.

17 So, I would assume summer peaks are probably
18 closer to 7:00 or 8:00. And again, our peak peak is
19 summer. So, again, I would anticipate that sort of
20 diminishing contribution of solar, but it's going to
21 shift throughout the year depending on when the sun sets
22 and when the peaks occur.

23 COMMISSIONER MC ALLISTER: Yeah, totally. I'm
24 trying to dig -- I mean, I think the details really
25 matter here in terms of how you quantify that peak

1 impact and, you know, what days you're focused on, what
2 seasons. You know, yeah, like you say, geographic
3 areas. So, I think we're pushing towards that granular
4 analysis and really need to see how it pans out, so
5 we're heading in the right direction there.

6 MS. SHENG: Thanks. Any other questions?

7 CHAIR WEISENMILLER: The same question on the
8 geographical distribution. So, to the extent you and
9 staff can communicate on the PV rollout, where it is by
10 area, and make sure we're synced up there would be good.
11 And, certainly, similarly on demand response. That as
12 we get more into the geographic effects, the spatial
13 effects trying to make sure our forecasts for the
14 preferred sort of lines up pretty well.

15 MS. SHENG: Sure. Definitely, when we look at
16 the PV adoption, for example, definitely we see more
17 pick up in the inland areas, you know, territory
18 compared to coastal areas. And, you know, those are the
19 additional information we can work with CEC to gain a
20 better understanding of.

21 As to DR, I think that's an evolving area as,
22 you know, CPUC working on the DR verification. We're
23 still working with a lot other stakeholders to determine
24 what's the right DR programs for us to incorporate on
25 the demand side and, you know, how do we account for

1 those megawatts. So, I expect we would work together
2 with CEC on those issues.

3 CHAIR WEISENMILLER: Great.

4 COMMISSIONER MC ALLISTER: Thank you.

5 CHAIR WEISENMILLER: I guess the last question
6 is, historically, there were some issues on peak
7 normalization. Are they done?

8 MS. SHENG: We are really pleased the last year,
9 you know, we work with CEC on the issues and we have
10 also brought industrial experts to look into what's the
11 best practice in that area. And I would accomplish
12 [sic], you know, CEC for making some process changes to
13 revise their forecast.

14 And I think that's a pretty good evolving
15 process and we would continue to support CEC for their
16 updates in those areas.

17 MR. KVALEC: We'll go through this exercise
18 again for the 2015 loads, as I mentioned earlier. And
19 each time, hopefully, we're getting closer and closer to
20 a consensus in terms of method. But we're not quite
21 there, yet.

22 CHAIR WEISENMILLER: Xeno's Paradox.

23 MR. KVALEC: Pardon?

24 CHAIR WEISENMILLER: Xeno's Paradox.

25 COMMISSIONER MC ALLISTER: Hopefully, we can do

1 that in a little more timely fashion and not have it
2 crop up on us right at the very end, like it did two
3 years ago.

4 MR. WENG-GUTIERREZ: All right, so now I will
5 proceed with the San Diego Gas & Electric planning area.
6 Again, it's going to be very similar to the other two
7 planning areas that I've already gone over.

8 So, in general, this actually had no -- this
9 planning area had no definitional change. We didn't
10 make any additions or subtractions to the region. It
11 stayed the same, so it actually lends itself to a better
12 comparison between the update in 2014 and the new work.

13 In general, the mid-case is up slightly compared
14 to the update in 2014, and this is primarily due to the
15 faster growth in number of households that was mentioned
16 earlier today, as well as a slightly higher EV forecast.

17 Sales are down slightly because of the higher PV
18 adoption. And then the peak demand, of course, is even
19 more significantly down because of the higher PV
20 adoption.

21 So, here you actually are able to see the update
22 in 2014, although the legend doesn't mention it here.
23 The red line, as is consistent with all the other slides
24 that we have the update on, is representative of the
25 2014 update.

1 And as you can see, it's pretty close to the new
2 mid-case. And in 2025, it's about 280 gigawatt hours.
3 Our new update is about 280 gigawatt hours above the
4 update in 2014.

5 So, just to take a quick look at the growth rate
6 of the households across the forecast relative -- from
7 the update to the new preliminary numbers. You can see
8 that given that the update is basically in line with the
9 low demand case, that almost nearly every case that we
10 have for the new forecast, the preliminary forecast, we
11 have households growing at a higher rate or we have a
12 higher number of households and that lends itself to a
13 higher set of demand numbers, as you'll see.

14 And Chris had mentioned some of the reasoning
15 behind why the household growths are the way they are
16 this IEPR cycle.

17 So, comparison of the sales numbers shows that
18 the mid-case is growing. They're pretty close to each
19 other, but our new mid-case is growing slightly slower
20 than the update in 2014. Again, the update in 2014
21 shows the numbers in their mid-case starting at a
22 slightly higher point and growing at a slightly faster
23 pace than we did for our new preliminary set of numbers.
24 But, generally, the rates are fairly close.

25 But the end result is that nearly all three of

1 the cases in the new preliminary are lower than the mid-
2 case last year.

3 Taking a look at peak demand, as I said at the
4 outset, the peak demand is reduced significantly because
5 of the regional PV adoption. All three of the cases are
6 lower than the update, the mid-case update in 2014. And
7 the mid-case, the new mid-case update is nearly 200
8 megawatts below what we had in the update in 2014 and
9 2025.

10 The PV energy is consistent and looks very
11 similar to the other planning areas, as well. So, for
12 2014 we certainly had, you know, a trend line there
13 that's reasonable. This time around because of, again,
14 the updates to our methodology, the tariff rates and
15 others we see a much higher increase in the PV energy
16 associated with the planning area.

17 And again, the magnitude of the PV adoption
18 impacts is not as high as you might imagine, again
19 corresponding to the peak conversion factors that were
20 realized for the preliminary forecast.

21 And so, in all three cases we have higher peak
22 impacts, but they're just not as high as you might
23 imagine. In the CED-2015 preliminary case they
24 correspond to around 1,200 megawatts of capacity in
25 2026.

1 And then, this chart looks similar to the PG&E
2 numbers for the EV energy consumption. The mid-cases
3 are somewhat similar to one another. We end up in 2025
4 with a value higher for the mid-cases, but in the mid-
5 term it's lower, accounting for the actual sales that
6 we're seeing in the region.

7 And again, efficiency programs look slightly
8 different here for SDG&E. We did the EM&V adjustments,
9 again accounting for the study results, the recent EM&V
10 study results for the 2012 to -- the 2010 to 2012
11 program evaluation study. Using that as an adjustment
12 factor for the entire -- all the efficiency programs
13 that have been incorporated until 2014 gives us the blue
14 line. And then adding on top of that, the 2015 program
15 savings gives us the green line.

16 So, again, what's included in the actual
17 forecast is the blue line from 2010 to 2014 and the
18 green line from 2015 to the end of the forecast.

19 So, as with the other utilities, the other
20 planning areas, we did a comparison with the SDG&E's
21 forecast. In general, SDG&E has a lower EV forecast
22 than us, by 200 gigawatt hours in 2026. They also have
23 a lower PV forecast by about 300 gigawatt hours.

24 Netting out those differences, our sales numbers
25 are very close. And then, our peak forecast is also

1 close in the 2026 time frame.

2 So, in general we felt like we understood the
3 differences and we felt that it was -- you know, we'll
4 take a look at those areas that are different and see if
5 we can improved as we go forward developing a revised
6 forecast. But, generally, we felt pretty comfortable
7 with the general outcome.

8 And again -- nope. So, there are a couple of
9 issues that we're going to take a look at. So, we're
10 pleased that SDG&E is taking the approach is taking the
11 approach of and end-use modeling approach. But there
12 are a couple of things that we want to take a look at
13 and, namely, lower residential sales in the different
14 paths, and then the higher commercial sales for
15 forecasts. And there's some differences in the
16 commercial floor space estimates and we're going to
17 probably take a closer look about that and have
18 discussions with them about that as we go forward with
19 the revised forecast.

20 And then there's also an issue with the
21 historical street light sales numbers.

22 And that is, in fact, the last slide. So, I'll
23 be happy to answer any questions you have.

24 COMMISSIONER MC ALLISTER: Has this street light
25 issue come up in any other service territory?

1 MR. KAVALEC: Yeah, it pops up periodically for
2 all the different planning areas. But recently we've
3 had some issues with street lighting, how it's
4 classified and delivered to us for San Diego and for
5 LADWP.

6 COMMISSIONER MC ALLISTER: Does that have to do
7 with the ownership of the lighting, whether it's
8 utility-owned or city-owned, or whatever?

9 MR. KAVALEC: Yeah, I'd have to ask the
10 utilities to speak to it, how they classify the street
11 lighting.

12 We use a NAICS coding and I'm not sure exactly
13 how they group their street lighting into that NAICS
14 category.

15 COMMISSIONER MC ALLISTER: Thanks. Yeah, no new
16 questions on this. Is SDG&E in the room here? Oh,
17 great, there we go.

18 MR. WENG-GUTIERREZ: So, we'll invite San Diego
19 Gas & Electric up to make comment.

20 MR. VONDER: Thank you, Malachi, good job.
21 Commissioners, thank you for giving us the opportunity
22 to comment. And I'm Tim Vonder, with SDG&E.

23 I'd like to begin by saying that we concur with
24 staff's analysis of the two forecasts and the
25 differences between them. I'd just like to talk about

1 it a little.

2 If you were to just take a look at total energy
3 sales, you know, our differences by the time we get to
4 2026 is less than one percent.

5 Like Malachi pointed out, with regard to PV and
6 EV, staff is higher in both cases. We want to
7 investigate that and understand that a little better.
8 But with them being higher, about in the same magnitude
9 that the two net each other out, and brings us back to
10 being pretty close together.

11 If we weren't to consider -- if we were to take
12 PV and EV, and set them aside, and compare our forecasts
13 again, we're less than one percent difference for the
14 remainder of the forecast.

15 There are a couple of things that Malachi
16 mentioned at the very end, where there are issues that
17 we need to look into. One of the issues has to do with
18 us going back to a end-use modeling technology. And
19 we're just kind of getting off the ground on that right
20 now. And we made an error when we initialized our model
21 in the residential area, because our forecast from 2014,
22 it dips down in 2015 and it recovers.

23 And we've been looking into that and we think
24 the reason is the way we initialized our model with
25 standards and the compliance rate. We assumed 100

1 percent compliance right off the bat. And, usually,
2 modeling custom is that you kind of bring them in little
3 by little. And if we straighten that out, that's
4 probably worth about 145 gigawatt hours right there in
5 2015. When we straighten that out, I think we're going
6 to take care of that difference.

7 And then one other little difference that we
8 noticed with staff, and this was across the board with
9 all planning areas, is that we started with 2014
10 actuals. And 2014 is still a forecast year for staff.

11 Now, when staff updates their forecast in the
12 revision process, they'll be using that. And they also
13 indicated that they will be using the 2015 peak data
14 when summer comes along, and we get that.

15 We'd like to correct our forecast for our
16 residential error and we'd like to also kind of update
17 our forecast. Whether we submit these forms or not, we
18 want to update our forecast a little. So that when the
19 revision process is complete we will have an updated
20 forecast to compare to your updated forecast.

21 And we really do look forward to working with
22 staff between now and then, especially to understand our
23 differences in PV, EV and see if we can get a little
24 closer. But it's been a pretty pleasurable experience
25 working with staff so far and we're satisfied at this

1 point.

2 COMMISSIONER MC ALLISTER: Great, thanks. So,
3 could you describe a little bit, not the error or
4 anything. I'm not so interested in that, per se. But
5 your sort of reasons, really, the implementation of a
6 more bottom-up model?

7 MR. VONDER: Our implementation of an end-use
8 model?

9 COMMISSIONER MC ALLISTER: Sorry, the end-use
10 model, yeah.

11 MR. VONDER: We're going with a model that Itron
12 had developed, called the SAE model, Statistically
13 Adjusted End-Use Forecasting.

14 We used to forecast -- many, many years ago we
15 had the Commend Model and the REEPS model, and that was
16 totally end-use. And then, we abandoned that, along
17 with the other utilities, many years ago. And we went
18 to strictly econometric. And now, we're starting to
19 come back to end-use modeling. It will never get all
20 the way back to REEPS and Commend but, you know, we're
21 working on that.

22 So, we've been working with Itron to help us
23 initialize the SAE Model in both commercial and
24 residential. We're working on it. We had to work
25 pretty hard to get a forecast out in time to file. And

1 I think some things got overlooked. But we're
2 definitely working on it.

3 And I will say that there is one thing that we
4 desperately need, and that is a new CEUS Study.

5 COMMISSIONER MC ALLISTER: Yes, I knew you were
6 going to say that. I was about to ask. So, we're
7 working on that really hard, too. Staff is sweating
8 that at least as much as you're sweating your model.

9 MR. VONDER: Okay.

10 COMMISSIONER MC ALLISTER: So, we're totally
11 agreed. I guess, you know, creative thinking about how
12 we can gather data to inform that or how, sort of, you
13 know, a partnership might help. I mean, I'm really
14 enthusiastic about a move back to a Back-to-the-Future
15 kind of thing in terms of getting a handle on realities
16 on the ground, and then having them reflected in the
17 modeling. A lot of work, but we have a lot of
18 technology at our disposal, as well. And so, certainly
19 interested in how that effort goes.

20 And one question. How geographically
21 disaggregated are you doing this?

22 MR. VONDER: Well, right now it's at the county
23 level, at our service territory level. But we just
24 filed a DRP filing with the Public Utilities Commission
25 and we're getting ready to start forecasting at a more

1 detailed level. If we don't produce a forecast at a
2 more detailed level, we want to get much better at
3 distributing our system level forecast at a much more
4 granular level.

5 So, the DRP was our first try, you know, at this
6 and I think it's kind of a learning exercise for
7 everybody that participated in it. And I think in the
8 future we'll be able to do that. I sure hope we will.

9 COMMISSIONER MC ALLISTER: Yeah, me, too. And I
10 think this would help our staff, I mean if we can sort
11 of figure out how to talk the same language, and at the
12 same level of aggregation, then I think it would really
13 help our process and potentially improve our
14 methodology, and be just a good thing all around.

15 MR. VONDER: With all the questions being asked
16 lately, end-use modeling is necessary.

17 COMMISSIONER MC ALLISTER: Yeah, great.

18 MR. VONDER: I'd like to make one other comment
19 because there was a question about lighting. There is a
20 difference in our lighting forecast, but that difference
21 really is in how we treat traffic lights. We classify
22 them according to a commercial rate, not a NAICS code.
23 And the commercial lighting is pushed up into our
24 commercial category.

25 So, we didn't leave it out. It's in there, it's

1 just not in the lighting category that you're used to
2 seeing. So, it's there.

3 COMMISSIONER MC ALLISTER: Okay, thanks for
4 that.

5 MR. VONDER: It's just not visible.

6 COMMISSIONER MC ALLISTER: Okay, thank you.

7 MR. WENG-GUTIERREZ: All right, great. So, I'm
8 going to hand it over to Cary Garcia.

9 MR. GARCIA: Hi, I'm Cary Garcia. I'll be
10 presenting our POU forecasts. We'll start off with
11 LADWP and then we'll finish up quickly with SMUD.

12 At the end of each presentation, I'll give some
13 time for LA I think Yaman is on the line. I'm not sure
14 about SMUD, I think they'll be providing written
15 comments.

16 So, first, we have a quick summary of the
17 forecast for LA Electricity consumption is a little
18 higher in this forecast compared to the 2014 updated,
19 and this the result of an increase in the number of
20 households.

21 Sales are down due to higher PV in this
22 forecast. And as Asish mentioned, we have some rate
23 escalation leading to that.

24 Similarly, the peak forecast is below 2014 and
25 this the result of higher PV in VACS.

1 Then we have our electricity consumption for LA
2 The two mid-cases are pretty close in comparison, but
3 2014 is slightly higher. By 2025, our mid-case, now,
4 will be at about 27,300 gigawatt hours.

5 And as I just said in that quick summary, the
6 higher number of households is what's leading to this
7 slight increase.

8 Now, we're at the projects for the number of
9 households. Growth here is comparing 2013 through 2025.
10 Our new mid-case is a little higher than then the 2014
11 update. Although small, this is what pushed up that
12 consumption.

13 Here we have electricity sales for LA The new
14 mid-case is about 24,835 gigawatt hours. Compared to
15 consumption, this mid-case is below the 2014. And this
16 is due to that increase in PV. You can see a slightly
17 flattening out of the mid-case sales near the end of the
18 forecast period.

19 Now, we have our peak demand for LA A faster
20 early growth here in comparison to the 2014 update. By
21 2025, we're about at 6,276 megawatts, which is about 75
22 megawatts below the 2014 update.

23 Now, we have PV energy. The low, mid and the
24 high all exceed the 2014 update. By 2025, the new
25 projections for PV energy is about 1,000 gigawatt hours.

1 Annual growth here, if you want to compare that,
2 from 2014 to 2025, in the 2014 update, was about four
3 and a half percent.

4 If you look at the new, 2015 mid-case, we're
5 growing at about 14 and a half percent, annually.

6 Here we have PV impacts for LA. A similar story
7 to energy, growing at very similar rates. The mid-case
8 here is about 100 -- sorry, the mid-case here is about
9 250 megawatts, which is about 180 megawatts more than
10 the 2014 update in 2025.

11 Now, we have our light duty EV energy, which
12 we've seen before in several of the slides. Very
13 similar story here. There's an adjustment in that near
14 period for the actual EV adoption.

15 The mid-case, in this case, is just an average
16 of our high and our low, a rough average of the high and
17 the low.

18 If you want to look at 2025, the new mid-case is
19 about 50 gigawatt hours lower than the 2014 update.

20 Once again, we have our efficiency program
21 impacts. Slightly different than with the IOUs. Here,
22 we have not included 2015 impacts, yet, because we don't
23 have access to that data. So, we start off from 2010 to
24 2014.

25 We can begin with the red line, which has no

1 EM&V adjustments. The blue line has our EM&V
2 adjustments. And then we can move on to the green line,
3 which includes the 2014 efficiency programs. And so,
4 the net effect is about 145 gigawatt hours and that
5 decays a little bit until 2026, and leaves us with about
6 40 gigawatt hours left.

7 Here we have electricity consumption by the
8 climate zone for LA. You can see here the inland area,
9 in all three cases is a little higher. What we're
10 seeing here is a little bit more inland growth in
11 households, as well as the commercial sector.

12 Now, we look at growth in peak demand by climate
13 zone and we see it's a little bit less of a distinction
14 between the two zones. Although, there may be a little
15 bit more inland PV driving -- well, this might be the
16 result of more inland PV driving down that growth.

17 Here we have a comparison with LADWP's forecast.
18 LADWP has higher EV forecast, but a lower PV forecast by
19 2026. These are both pretty significant. If we net out
20 these differences, our sales are a little higher in our
21 2015 preliminary case. The difference here is about
22 less than one percent, though.

23 On the other hand, our peak forecast difference
24 is a little larger when comparing our 2026 numbers. If
25 we net out these PV differences, our forecast is around

1 280 megawatts higher by 2026.

2 Here are some issues we want to work with or we
3 have been working with LA on. One of the issues is with
4 our weather normalized peak that we use. I believe LA
5 is using the actual peak value right now.

6 Another issue that we've discovered with LA is
7 that they have a new billing system they're still trying
8 to work around. There's some new things that they still
9 have to discover there.

10 Another issue that we've seen in some of the
11 other presentations is an issue with the street lighting
12 sales. Ours is relatively flat, whereas LA has a
13 significant increase in their sales.

14 Another difference that we want to look at -- or
15 another issue we want to look at is the difference in
16 sectors. We've been encouraging LA to adopt similar
17 sectors as the Energy Commission's demand forecast, and
18 this will just allow comparisons in the future to be
19 much easier.

20 I think that's my last slide. And I think Yaman
21 is on the line, I hope.

22 MR. NANN: Yes, good afternoon. Can you hear
23 me?

24 MR. GARCIA: Yes.

25 MR. NANN: Okay, yes. I just want to say thank

1 you, Cary and Chris, for the analysis you've done and
2 keeping us posted along the process.

3 So, I just wanted to comment on a couple of
4 items in regards to the differences we're seeing. As
5 you mentioned, you're seeing a higher PV forecast. And
6 for us, what we're looking at right now is in our
7 integrated resource plan we're saying that we're -- as
8 of now, we are going to abide by the ability to limit
9 our net metering at the five percent penetration level.
10 So, we're actually capping, at this point in time, net
11 metered PV penetration at 310 megawatts. And I think
12 you guys go a lot higher than that.

13 That's, of course, needless to say, once we get
14 there, I don't know how it would be an argument for us
15 to say that for people that you can't, you know, get net
16 metering credits for their solar.

17 So, we're going to be looking at that,
18 obviously, as this -- as well as the CPUC is looking at
19 that.

20 In terms of peak demand, I did a preliminary
21 analysis and we're seeing, we're starting to see a shift
22 in when our peaks are happening. Typically,
23 historically, 1995 to 2000 they were happening in August
24 and June. We're seeing more of a September peak,
25 lately, and more of a needle peak. So, we're going to

1 be looking into trying some new models that possibly
2 include quantifying with rations to see if there's any
3 way we can pick up on that more often. And then also,
4 maybe possibly going towards a more weather normalized
5 peak demand model.

6 In terms of EV forecast, one thing is why maybe
7 we're seeing higher than you are is we're looking at not
8 just -- we don't have all of our EV customers on
9 dedicated meters. So, we're basing it off of data that
10 we've received from our rebate program, as well as the
11 data that we were able to gather from California
12 Sustainable Energy Center.

13 So, we believe that there's a lot more EVs out
14 there than we're actually metering at this point. But
15 moving forward, what our rates group has done is they've
16 now made it a rule that if you want to get the EV
17 discount that you have to go with the dedicated meters.
18 So, hopefully, that will help us get a more accurate
19 reading of EV adoption moving forward.

20 And in regards to the definition of classes, as
21 Cary mentioned we did have a new billing system, a
22 customer information and billing system that went online
23 at the end of 2013. So, we're still kind of working
24 through some of the bugs in that and trying to, you
25 know, potentially reclassify. We'll redefine the

1 classifications that we're using for forecasting. And
2 what we're also going to be working on is trying to fix
3 some of the NAICS codes that are assigned to those
4 customers.

5 So, for street lighting, similar to what San
6 Diego Gas & Electric mentioned, what we do is we do have
7 a Bureau of Street Lighting that, you know, owns and
8 operates all the street lighting. And then, you know,
9 we charge them for that. But we also have what we call
10 an outdoor area lighting rates. So, some of that is
11 grouped into the street lighting, as well, and then some
12 of it falls into commercial. So, we're also going to
13 work on trying to clean that up, as well, moving
14 forward.

15 So, that's my comments on the comparison. And
16 we'll continue, you know, to coordinate further.

17 MR. GARCIA: All right, thank you, Yaman.

18 MR. NANNE: Thank you.

19 MR. GARCIA: Do we have any questions?

20 COMMISSIONER MC ALLISTER: Maybe we can ask the
21 POU, is the only other -- just SMUD is the other POU or
22 do you have others?

23 MR. GARCIA: Yeah.

24 COMMISSIONER MC ALLISTER: Okay, great. So,
25 let's ask the DWP representative to stick around and

1 maybe we'll ask them both some questions. Thanks.

2 MR. GARCIA: All right, I'll move on to SMUD.

3 All right, so here we have another quick forecast
4 summary. Like LA, we have a higher household forecast
5 here, resulting in higher consumption. But this has
6 been offset by the growth in -- oh, offset by lower EV
7 growth.

8 PV adoption is less here, compared to the IOUs,
9 and this is leading to faster growth in terms of sales
10 and peak.

11 As Chris mentioned earlier in the day, SMUD is
12 no longer a planning area, but is a climate zone within
13 a planning area. And this will be in the Northern
14 California non-CAISO planning area.

15 As far as being a climate zone in that planning
16 area, the consumption for them was much slower, but
17 their peak demand -- oh, sorry. Their consumption was
18 growing faster, but their peak demand was growing
19 slower.

20 So, here we have electricity consumption for
21 SMUD. In particular, Northern California experienced a
22 lot of -- or were expecting a lot of household growth in
23 Northern California. So, the new mid-case puts us
24 around 326 megawatts above our old case from 2014.

25 Here's our growth in number of households. Our

1 new mid-case is growing fairly significantly higher than
2 our 2014 update. By 2015, we're at about 600,000
3 households, in comparison to 2014 mid-case that had us
4 at 575,000 in 2025.

5 Here we have electricity sales for SMUD. More
6 PV here results in our sales forecasts being closer to
7 last year's estimates. And that's about 200 gigawatt
8 hours more than 2014. And this is due to slightly more
9 PV growth.

10 Here we have peak demand for SMUD. More growth
11 compared to 2014. By 2025, our new peak forecast will
12 give us about 3,400 megawatts of peak demand.

13 Now, we have PV energy. This increase is about
14 100 gigawatts for the new mid-case. We had growth in
15 the commercial sector, leading to higher commercial PV
16 adoption.

17 Now, we have PV as peak impacts. On the
18 opposite side of our 2014 update and this was largely
19 due to that shift in the peak factor, which in SMUD's
20 case was significant.

21 And so the difference here between -- in 2025,
22 when we compare our 2014 update to the new forecast, is
23 about 60 megawatts. Oh, I'm sorry, that's a little too
24 much there.

25 So, now we have our light duty EV forecast. The

1 new mid-case is growing around 36 percent, compared to
2 the 39 percent from our old mid-case. So, that's a
3 slight reduction. And this is very similar to the
4 previous slides we saw as far as the EV growth goes for
5 the different planning areas.

6 Now, once again, we have our efficiency program
7 forecast, our efficiency program impacts. We'll start
8 off, again, with the red line, showing our cumulative
9 savings from 2010 to 2013, with no EM&V adjustments.

10 The blue line representing our cumulative
11 savings, including those EM&V adjustments.

12 And then the green line, now representing the
13 addition of 2014 program impacts.

14 So, by 2026, we still have -- we have a little
15 more than we have in 2014. In fact, about 42 gigawatt
16 hours.

17 Now, as mentioned earlier, SMUD is now a climate
18 zone within a planning area, that Northern California
19 Non-CAISO planning area. So, here we see SMUD
20 electricity consumption growing at a much or fairly
21 higher rate compared to the Turlock Irrigation District,
22 and the Balancing of Northern California, not including
23 SMUD.

24 Now, we have our peak demand for these climate
25 zones. Well, for SMUD. Relative to the other areas,

1 there's still more PV growth in SMUD's territory, and so
2 that's kind of putting them down below the other two
3 areas as far as peak demand growth.

4 Okay, now, for our comparison with SMUD, SMUD
5 has a higher EV forecast by about 50 gigawatt hours in
6 2026, but they have a lower PV forecast in comparison to
7 ours that's significantly high, by about 300 gigawatt
8 hours in 2026.

9 If we net out these differences, our sales in
10 2026 are significantly lower than our 2015 mid-case, and
11 that's about 800 gigawatt hours. This difference is
12 largely due to differences in our residential forecasts.

13 The peak forecast is much closer. If we net out
14 our PV differences, we're within about three percent of
15 each other.

16 These are just a couple of issues that we want
17 to review with SMUD. One is the PV adoption that we
18 want to get a handle on, and see if we can get closer on
19 aligning our forecasts.

20 And then, also, we want to work out some issues
21 as far as the residential forecast comparisons. SMUD
22 combines a short-term, as well as a long-term forecast,
23 which makes comparisons difficult.

24 And then, as far as the Energy Commission goes,
25 or the demand forecasting on our part, we need to look

1 at miscellaneous plug loads and get a handle on that for
2 the revised forecast.

3 So, I'll invite SMUD, if we have anybody? I
4 don't think we do. So, I think they'll be sending in
5 written comments. So, if there are any questions?

6 MR. KAVALEC: I believe Toyama (phonetic) is on
7 vacation this week so --

8 MR. GARCIA: Oh. Yeah, so any comments or
9 questions.

10 CHAIR WEISENMILLER: Yeah, so the first question
11 is with LADWP and SMUD, when do they run into the net
12 metering cap? There's been some legislation this year
13 to adjust that for the POUs, or there was some for the
14 POUs?

15 MR. GAUTAM: I think in the AB 327, it also
16 calls for a move, just like the IOUs, for new
17 contracts -- or a new NEM payment structure in 2017, or
18 the five percent cap, whichever's earlier.

19 CHAIR WEISENMILLER: Okay.

20 COMMISSIONER MC ALLISTER: Is the rep from LADWP
21 still on?

22 MR. NANNE: Yeah, sorry. Yeah, let me chime in
23 on that. It's kind of -- so, we're looking at it in a
24 way as an accommodation between what's coming from SB 1
25 and AB 327, right. So, SB 1 has a specific dollar and

1 megawatt target. So, we're actually going to be
2 exceeding the megawatt target of SB 1, staying with the
3 dollar target in terms of rebates. But what we're
4 looking at is saying we're going to adopt what AB 327
5 does, and allows us to limit net metering at five
6 percent until we do further studies to determine, which
7 are actually already underway, to determine how that can
8 be integrated into the grid.

9 COMMISSIONER MC ALLISTER: So, what percentage
10 does just getting through SB 1 get you to, in terms of
11 the cap, in terms of the proximity to the cap?

12 MR. NANNE: Yeah, SB 1, I think our target's
13 about 280, so almost gets us there.

14 COMMISSIONER MC ALLISTER: Interesting. So,
15 you're concerned about the ability to incorporate five
16 percent into your distribution network?

17 MR. NANNE: Right, yeah, so I don't want to get
18 too much into the integrate resource plan. So, we're
19 looking at it specifically from net metering. We
20 actually have a lot more distributed solar coming
21 online. We have, already existing, 115 megawatts of
22 feed-in tariff that's already being developed. So,
23 we're considering expanding that additional 300.

24 We also are planning a community solar program
25 right now that could possibly be anywhere from 50 to 100

1 megawatts.

2 So, our concern is in terms of the operational
3 control of that solar. So, we look at feed-in tariffs
4 and community solar as we're able to control that
5 because, you know, we require certain metering or either
6 we own it, we own the control.

7 But whereas net metering, it's on the customer
8 side and we don't necessarily have control of it unless
9 it's, you know, we do that for larger size projects.
10 So, that's how we're looking at it right now.

11 COMMISSIONER MC ALLISTER: So, are you looking
12 at Smart inverters and sort of strategies to be able to
13 control some of the NEM solar, or at least influence it
14 and use it for, you know, ancillary services? Or are
15 these just turn it down if need be, Smart inverters.

16 MR. NANNE: Yeah, I don't want to give you --
17 I'm not an expert on that. I can get back to you on
18 that information. We do have a group that is looking
19 into that. But I don't have the answer. We don't have
20 any immediate plans to roll out, you know, Smart
21 inverter incentives or anything like that.

22 COMMISSIONER MC ALLISTER: Okay.

23 MR. NANNE: But we do have a group looking into
24 it. So, if you want, I can look into that and get back
25 to you on that.

1 COMMISSIONER MC ALLISTER: That would be great.

2 MR. NANNE: Okay.

3 COMMISSIONER MC ALLISTER: I wanted to --
4 really, my main question was about the savings in 2014.
5 It looks like you guys got a lot of efficiency savings
6 in 2014 and I wonder if you can unpack that a little
7 bit. I'm assuming those are unverified, but they look
8 pretty big, regardless.

9 MR. NANNE: Yeah, I would have to get back to
10 you on that. We did have our board adopt higher energy
11 efficiency targets, yeah, starting in the beginning of
12 2014. Basically, the goal was to get 15 percent by
13 2020. So, that's where that adjustment comes from.

14 But if you want more specifics of what's going
15 on in 2014, I'll also have to get back to you on that.

16 COMMISSIONER MC ALLISTER: That may be
17 reflected, already, in the latest round of reports you
18 guys sent us. But it would be good to get an update on
19 that, so maybe --

20 MR. NANNE: Okay. Yeah, I'll get in touch with
21 our energy efficiency group and see what their actuals
22 have come in for 2014.

23 COMMISSIONER MC ALLISTER: Great. So, the other
24 question I had is kind of just one of, you know, POUs
25 and IOUs, apples-to-apples with regard to the fact that

1 DWP, certainly, and SMUD I think also does either an IRP
2 or something akin to IRP that includes a lot of the
3 stuff that we break out for the IOUs, in terms of AAEE
4 and all that. Right, is that a fair statement, Chris?

5 So, how does that affect the presentations that
6 we've seen here today? Has the AAEE equivalent been
7 stripped out of the POU's for this base forecast, or sort
8 of what are we looking at one relative to the other, in
9 terms of POU's and IOUs?

10 MR. KAVALEC: Yeah, we tried to make that
11 comparison as close as possible for POU's and IOUs. So,
12 for efficiency, it's only including the committed
13 efficiency, so nothing beyond 2014.

14 COMMISSIONER MC ALLISTER: And you -- the
15 utilities can provide -- like the POU's, DWP and SMUD can
16 provide you with that information or do you have to kind
17 of model it away?

18 MR. KAVALEC: No, they -- we have information
19 from two sources, at least, the AB 2021 reports, as well
20 as the demand forms they file with us. They include
21 future efficiency beyond the current programs.

22 COMMISSIONER MC ALLISTER: Okay.

23 MR. KAVALEC: So, that's what we're going to
24 rely on, and as well as other discussions with the POU's
25 to develop AAEE for the POU's.

1 COMMISSIONER MC ALLISTER: Okay, so that
2 discussion for the POU's purposes, or for our purposes
3 with respect to the POU's is all about essentially
4 whether we -- so, our vetting their predictions of
5 future efficiency and seeing if we agree, and modeling
6 them.

7 MR. KAVALEC: That's right.

8 COMMISSIONER MC ALLISTER: Okay. Okay, well,
9 that makes sense.

10 Yeah, any other questions?

11 CHAIR WEISENMILLER: No, I think I'd encourage
12 staff in LA to talk about the port issues in terms of
13 load at the port and/or electrification.

14 COMMISSIONER MC ALLISTER: Can DWP talk about
15 the ports and what's going on there? Oh, it seems like
16 we lost him, okay. Oh, there he is.

17 MR. NANNE: Yeah, I can make a slight comment on
18 that. But I'd also have to get back to you in more
19 detail. There is a reduction in port electrification
20 from LAX. However, that's an agency, you know, that's
21 in charge of that. So, I'd have to get back to you on
22 the details of that.

23 But our forecast, our next forecast is going to
24 reflect lower port electrification.

25 COMMISSIONER MC ALLISTER: Right, okay.

1 MR. KAVALEC: And, Yaman, your forecast
2 currently includes some assumptions about
3 electrification in San Pedro?

4 MR. NANNE: Yes, that's correct.

5 COMMISSIONER MC ALLISTER: Okay.

6 MR. NANNE: Yeah, but again, that's -- we have
7 received word that that's being reduced, so we're going
8 to reflect that in the next forecast.

9 COMMISSIONER MC ALLISTER: Great. Okay, thanks.
10 Anybody else? No. The PUC Commissioner doesn't want to
11 ask the POUs anything?

12 (Laughter)

13 CPUC COMMISSIONER FLORES: Stir up trouble.

14 COMMISSIONER MC ALLISTER: Thank you, Cary.

15 All right, we're to public comment. I only have
16 one blue card, so maybe we'll just open it up, in case
17 anybody didn't fill one out, later.

18 But our sole speaker this afternoon, Jeremy
19 Waen, from Marin Clean Energy.

20 MR. WAEN: Hi there, Jeremy Waen with Marin
21 Clean Energy. I'm here to talk about a type of load-
22 serving entity that hasn't got much discussion here
23 today, but is part of the IEPR process. That is our
24 community choice aggregations.

25 I work for one of three active CCAs in the State

1 of California. And with this IEPR cycle, it's actually
2 a significant milestone for us because it's the very
3 first time that we are reporting directly to the CEC to
4 have our load and supply reflected within the IEPR
5 process.

6 We've been serving customers since 2010, but our
7 peak demand has grown enough so that we've crossed that
8 200-megawatt threshold to start reporting to the IEPR.

9 Similarly, Sonoma Clean Power, which is the
10 second of three CCAs, also serves a large enough load at
11 this point to be reporting into the IEPR process.

12 And the third CCA is the City of Lancaster, in
13 Southern California Edison's territory.

14 We are reporting in and we're very interested in
15 the accuracy of the IEPR process because it ultimately
16 informs the procurement planning processes that happen
17 at the CECD and inform the bundled procurement practice
18 of the utilities.

19 This has a fundamental impact of -- it has a
20 direct material impact on the abilities of CCAs to
21 compete against investor-owned utilities on price.
22 Because so far as the utilities procure too much power,
23 or procure power on behalf of the customers that we
24 serve, our customers end up paying that cost anyhow.

25 So, we want to make sure that our load

1 information is accurately reflected within the IEPR
2 process so that it can be accurately acted upon at the
3 CPUC level for their planning processes.

4 We also believe that there are, there will be
5 CCAs that will not reach that 200-megawatt threshold to
6 directly report into the IEPR process. And we believe
7 that there should be some aggregation factor to account
8 for the smaller CCAs when they form over the coming
9 years.

10 And also on that note, CCAs are popping up more
11 and more, and in more numbers. And the existing CCAs
12 are continuing to grow. And we believe that there does
13 need to be some tracking of the load served within the
14 utilities' territories of whether they're being served
15 by bundled or unbundled service, and whether that load
16 net shift is growing. Where there are trends and how
17 much is being served by unbundled or bundled.

18 And lastly, to the extent that we are bringing
19 on distributed energy resources, we ask that that
20 information be incorporated into the assumptions that go
21 into the IEPR process, as well. We don't want all the
22 distributed energy resources that we bring online to
23 somehow drop off the radar and not be reflected in the
24 IEPR.

25 COMMISSIONER MC ALLISTER: Thanks very much for

1 being here. I guess I have a question, you know, so a
2 kilowatt hour that goes to one of your customers, and
3 you procure and sell, is that being reported in the data
4 that PG&E submits?

5 MR. KAVALEC: Yeah, so in our sales forecast,
6 our disaggregated version that we use for renewables
7 analysis and so on, we report PG&E bundled -- or IOU
8 bundled, unbundled, and CCA.

9 COMMISSIONER MC ALLISTER: Okay.

10 MR. KAVALEC: So, PG&E does report that, but we
11 also get data from some of the CCAs and we try and
12 reconcile the data, and develop projections for the
13 CCAs.

14 And right now we're including Sonoma, Marin and
15 Lancaster, down south.

16 COMMISSIONER MC ALLISTER: Does that, does the
17 data that comes from the utility and the CCA, do those
18 data match up pretty well?

19 MR. KAVALEC: They're usually pretty close. But
20 I think this is a conversation -- as CCAs become more
21 widespread, this is a conversation we're going to have
22 to have with the IOUs, as well, to fully reconcile their
23 expectations with ours and the CCAs.

24 COMMISSIONER MC ALLISTER: What sorts of DG are
25 bringing on, distributed energy resources are you

1 bringing online? Is it net metering your customers, or
2 is it more community choice, or what?

3 MR. WAEN: We have rooftop solar and net energy
4 metering that we have a very high participation rate
5 within our service territories. We also have an
6 obligation through the legislative mandate and CPUC to
7 procure energy storage for the customers we have. And
8 we are beginning to bring some of that online, both at
9 the commercial level and also the residential level.

10 We also have a demand response pilot that we
11 ultimately aspire to bid into the ISO market, as a
12 supply resource. So, that's another type of resource
13 that will need to be tracked.

14 We also have, at least MCE's territory, a
15 particularly high adoption rate of electric vehicles,
16 and that there are certainly aspirations to increase
17 further the adoption and usage of electric vehicles.
18 So, definitely think all of those types of technologies
19 are being acquired by our customers, and facilitated in
20 a way by the programs and pilots that we're offering to
21 our customers, as well.

22 COMMISSIONER MC ALLISTER: Yeah. I mean, it's
23 very exciting and I commend you guys on all the programs
24 you've got going.

25 I want to avoid, you know, having essentially

1 double counting or not counting. And so, like if the
2 PG&E truck comes to do an interconnection on a PV
3 system, and that Smart meter is PG&E's meter, right, on
4 one of your customers. So, does that data come up
5 through the interconnection data on PV that PG&E's going
6 to support to you, going to report to us here, for
7 forecasting purposes? Or, are we needing Marin Clean
8 Energy to submit that, the fact that that system exists?

9 MR. GAUTAM: In this IEPR, I don't recall
10 getting any interconnection data from CCA. So, it might
11 be a conversation we need to have.

12 COMMISSIONER MC ALLISTER: It would be good to
13 make sure that the information about that system and its
14 location is coming in from somewhere, right?

15 MR. GAUTAM: Yeah.

16 MR. WAEN: Absolutely. This is, as I mentioned,
17 this is the first time reporting into the process, so
18 we're still even learning which forms we should be
19 looking out for.

20 COMMISSIONER MC ALLISTER: Thank you for that.

21 MR. WAEN: The one other thing that I meant to
22 mention is we also administer an energy efficiency
23 program under the CPUC's authority. And so, there are
24 energy savings there, too, that should ultimately get
25 rolled into this.

1 COMMISSIONER MC ALLISTER: So, I'm wondering,
2 Commissioner Florio, does sort of the reporting -- I
3 know you're not the lead on efficiency. But I'm
4 wondering about the -- how the CCAs are sort of treated
5 and their expectations of reporting to the PUC, and
6 whether that kind of translates to -- you know, maps
7 over to our forecasting efforts?

8 CPUC COMMISSIONER FLORES: My understanding is
9 that, at least for Marin, there's separate reporting and
10 accounting for the programs that they administer.

11 COMMISSIONER MC ALLISTER: Yeah.

12 MR. WAEN: That's my understanding, too.

13 CHAIR WEISENMILLER: Although, again, I guess
14 what don't know, stepping back and looking at the
15 Governor's Executive Order, and certainly legislation,
16 how the CCAs fit in that context where, in many
17 respects, we're talking about stepping up energy
18 efficiency, certainly stepping up electrification of
19 transportation systems, stepping up renewables, with a
20 real greenhouse gas focus there, perhaps in some sort of
21 IRP process. How do you play across those three
22 buckets, vis-à-vis, you know, the PUC?

23 MR. WAEN: So, we straddle an interesting line
24 as far as jurisdiction goes. There's certain areas
25 where the CPUC has direct jurisdiction over us, as far

1 as compliance with the Renewable Portfolio Standard, the
2 energy storage obligations that I was mentioning, the
3 resource adequacy requirements. And then, things like
4 energy efficiency to the extent that we are leveraging
5 ratepayer funds to fund the energy efficiency. Those
6 are all CPUC jurisdiction.

7 For our general procurement and all of our other
8 services that we provide to our customers, it's all
9 within the jurisdiction of our governing board. So, we
10 certainly view ourselves as one of the many pathways
11 towards meeting the Governor's goals for further EE
12 adoption, EV deployment, GHG reductions overall. But
13 we -- it's an interesting fit of how we layer in with
14 the different jurisdictions and the different
15 authorities that are there.

16 CHAIR WEISENMILLER: Let's say on charging
17 infrastructure for transportation, would you anticipate
18 doing that or would you anticipate, say, PG&E putting in
19 charging infrastructure in your area?

20 MR. WAEN: We have helped to fund some
21 deployment of EV charging within our service territory
22 and we are interested in continuing to do that.

23 I don't want to risk any kind of ex parte notice
24 by violation with Commissioner Florio, but there are
25 proceedings ongoing at the Commission, exploring further

1 deployment of EV charging infrastructure. And CCAs
2 could play a role in that.

3 CHAIR WEISENMILLER: Yeah, I was trying to
4 understand whether -- you mentioned how you were in a
5 hybrid situation, where in some areas you have PUC
6 regulation, others local control. And I was just trying
7 to understand some of the boundaries there, you know,
8 particularly on like charging infrastructure?

9 MR. WAEN: There, too, if it were to leverage
10 ratepayer money, the same way the energy efficiency
11 programs leverage ratepayer money, then we would likely
12 be beholden to the CPUC.

13 CHAIR WEISENMILLER: Okay.

14 MR. WAEN: Otherwise, it's simply left to our
15 means and our local jurisdiction to fund and plan where
16 the charging infrastructure may be deployed.

17 CHAIR WEISENMILLER: Okay.

18 MR. KAVALEC: And I may have already asked you
19 this once before when we talked, but are you guys now
20 doing regular, ten-year forecasts for sales and for
21 peak? And if so, how often?

22 MR. WAEN: We have an Integrated Resource Plan
23 that we update on an annual basis, that is our analogous
24 process to, say, the Long-Term Procurement Plan that the
25 utilities undergo at the IOU level.

1 It's a document that we, our staff and our board
2 create, and we vet through public review, and work with
3 the consultants on. And we do conduct procurement over
4 medium to long term. We have contracts that are up to
5 20 years in length. So, we are very much procuring on a
6 longer term. And that document is a public document. I
7 believe it's updated every, I want to say, third or
8 fourth quarter of the year. And we're happy to keep
9 providing that to the CEC to update the accuracy of the
10 information in the IEPR.

11 COMMISSIONER MC ALLISTER: Okay, thanks very
12 much for being here, really appreciate it.

13 MR. WAEN: Thank you, all.

14 COMMISSIONER MC ALLISTER: And it looks like
15 Melanie might have an answer to our net metering system
16 question.

17 MS. MC CUTCHEON: Good afternoon. My name is
18 Melanie McCutcheon. I'm with PG&E and I did want to
19 provide some clarification to Commissioner McAllister's
20 question regarding double counting on our -- some of our
21 demand side energy resources forecasts.

22 I can't speak for the energy efficiency side of
23 things. But for distributed generation, we do include
24 interconnections in Marin Clean Energy's area, as well
25 as customers, as well as for other CCAs. So, we'll

1 definitely work closely with CEC staff and Marin Clean
2 Energy, and others, to make sure we're not double
3 counting any DERs.

4 COMMISSIONER MC ALLISTER: Great. Thanks very
5 much.

6 Okay, any other comments in the room? It looks
7 like not.

8 And do we have anybody on the WebEx or phone?

9 MS. RAITT: No, but we can open up the phone
10 line. So, if folks are on the phone, please mute your
11 phone, unless you'd like to make a comment.

12 It doesn't sound like it.

13 COMMISSIONER MC ALLISTER: All right. Well, I
14 want to thank staff on a job well done. The preliminary
15 forecast I think is really solid work. And there are
16 number of things to sort of think about further, and
17 polish up as we move on in the year. Obviously, waiting
18 for the 2015 data to come through so we can get it all
19 tied up nice in a bow before the end of the year. Or, I
20 guess, actually, early next year, probably. I see
21 Malachi grimacing.

22 But I think this is really great work and thanks
23 to Chris and the team, Asish, and Cary, and Malachi, and
24 Chris for all the work.

25 And let's see, I guess I don't really have any

1 other comments. Chair Weisenmiller, do you want to --

2 CHAIR WEISENMILLER: Well, again, I'd like to
3 thank everyone for being here. Certainly thank the
4 staff for their hard work in this area. I think this is
5 one where it's been one of the Energy Commission's core
6 covenants for years. And certainly appreciate the
7 dedication to their efforts there and the feedback on
8 how to make it better.

9 And I also want to thank Commissioner Florio for
10 being here today and helping us dive into these issues.

11 CPUC COMMISSIONER FLORES: And we'll follow up
12 back home to make sure we're coordinating to the maximum
13 extent possible.

14 COMMISSIONER MC ALLISTER: All right. Thanks,
15 Heather and the IEPR team, and all of you for sticking
16 it out to the bitter end here. It's almost three
17 o'clock, so we're adjourned.

18 (Thereupon, the Workshop was adjourned at
19 2:55 p.m.)

20 --oOo--

21

22

23

24

25