

## DOCKETED

<b>Docket Number:</b>	15-IEPR-11
<b>Project Title:</b>	Climate Change
<b>TN #:</b>	205998
<b>Document Title:</b>	Transcript of the July 27, 2015 CPUC/CEC Workshop on Climate Adaptation Opportunities for the Energy Sector
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	9/2/2015 2:59:00 PM
<b>Docketed Date:</b>	9/2/2015

COMMITTEE HEARING  
 BEFORE THE  
 ENERGY RESOURCES CONSERVATION AND DEVELOPMENT  
 COMMISSION OF THE STATE OF CALIFORNIA

In the matter of, )  
 ) Docket No. 15-IEPR-11  
 )  
 2015 Integrated Energy Policy )  
Report (2015 IEPR) )

**CPUC/CEC WORKSHOP ON  
 CLIMATE ADAPTATION OPPORTUNITIES FOR THE ENERGY SECTOR**

CALIFORNIA PUBLIC UTILITIES COMMISSION

CPUC AUDITORIUM

505 VAN NESS AVENUE

SAN FRANCISCO, CALIFORNIA

MONDAY, JULY 27, 2015

9:30 A.M.

Reported By:  
 Julie Link

**CALIFORNIA REPORTING, LLC**  
 52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

## APPEARANCES

Present on the Dais

Robert B. Weisenmiller, Chair, California Energy Commission

Karen Douglas, California Energy Commission

Liane Randolph, Commissioner, California Public Utilities Commission

Mike Florio, Commissioner, California Public Utilities Commission

Ken Alex, Senior Policy Advisor to Governor Brown and the Director of the Office of Planning and Research

CEC Staff Present

Alana Mathews, Public Adviser

CPUC Staff Present

Tim Sullivan, Executive Director, California Public Utilities Commission

Presenters/Panel Members Present

Dr. Daniel Cayan, Former Director, Climate Research Division, Oceanographer and Meteorologist, Scripps Institution of Oceanography, University of California at San Diego

Dr. Craig Zamuda, Senior Policy Advisor, Climate Resilience Partnership, U.S. Department of Energy

Dr. David Groves, Co-Director, RAND Water and Climate Resilience Center

Kathleen Ave, Climate Program Manager, Sacramento Municipal Utility District

## APPEARANCES (CONT.)

### Presenters/Panel Members Present (Cont.)

Marzia Zafar, Director, Policy & Planning Division, CPUC

Louise Bedsworth, Deputy Director, Governor's Office of Planning and Research

Guido Franco, Team Lead for Climate and Environmental Research, CEC

Dr. Susan Fischer Wilhelm, Research Lead on Climate Change, CEC

Dr. Li Erikson, CoSMoS Lead Modeler, USGS

Kristin Ralff-Douglass, Senior Policy Analyst, Policy & Planning Division, California Public Utilities Commission

Diana Day, Vice President of Enterprise Risk Management, San Diego Gas & Electric

Jimmie I. Cho, Senior Vice President, Gas Operations and System Integrity, Southern California Gas Company

Paul Grigaux, Vice President of Transmission Substations & Operations, Southern California Edison

Patrick Hogan, Vice President, Electric Operations Asset Management, Pacific Gas & Electric Company

### Public Present

Demetra McBride, County of Santa Clara

Louis Blumberg, Nature Conservancy

Ben Davis

Emily Mazzacurati, Four Twenty-Seven Climate Solutions

Dr. Robert Green, (WebEx)

## INDEX

	Page
Meeting convened by Executive Director Tim Sullivan	7
Welcome and Introductions	
Liane M. Randolph, Commissioner, CPUC	12
Robert B. Weisenmiller, Chair, CEC	14
Ken Alex, Senior Policy Advisor to Governor Brown and Director of the Office of Planning and Research	17
Karen Douglas, Commissioner, CEC	18
Mike Florio, Commissioner, CPUC	19
California's Changing Climate	
Dr. Daniel R. Cayan, Former Director, Climate Research Division, Oceanographer and Meteorologist, Scripps Institution of Oceanography, University Of California at San Diego	20
National and Regional Approaches to Adaptation in the Energy Sector	
Dr. Craig Zamuda, Senior Policy Advisor, Climate Resilience Partnership, U.S. Department of Energy	38
Methods for Developing Robust Adaptation Plans in the Energy Sector	
Dr. David Groves, Co-Director, RAND Water and Climate Resilience Center	68
Regional Collaborative Approach to Climate Readiness	
Kathleen Ave, Climate Program Manager, Sacramento Municipal Utility District	87

## INDEX

	Page
California Adaptation Efforts	
Moderator: Marzia Zafar, Director, Policy & Planning Division, CPUC	
Overview of California Adaptation Efforts	
Louise Bedsworth, Deputy Director, Governor's Office of Planning and Research	107
Lunch Break	
Research Efforts for the Energy System	
Guido Franco, Team Lead for Climate and Environmental Research, CEC	118
Consideration of Climate Adaption in Renewable Energy Planning and Permitting	
Scott Flint, Desert Renewable Energy and Conservation Plan, DRECP, Program Lead, CEC	131
Science and Tools for Understanding Coastal Vulnerability of Energy Facilities	
Dr. Susan Fischer Wilhelm, Research Lead on Climate Change, CEC	141
Dr. Li Erikson, CoSMoS Lead Modeler, USGS	143

## INDEX

	Page
California Utilities' Adaptation Efforts: A Panel Discussion	
Moderator: Kristin Ralff-Douglass, Senior Policy Analyst, Policy & Planning Division, CPUC	
Utility Presentation by Panelists	
Diana Day, Vice president of Enterprise Risk Management, San Diego Gas & Electric	162
Jimmie I. Cho, Senior Vice President, Gas Operations and System Integrity, Southern California Gas Company	175
Paul Grigaux, Vice President of Transmission Substations & Operations, Southern California	181
Patrick Hogan, Vice President, Electric Operations Assets Management, Pacific Gas & Electric	193
Public Comments	226
Concluding Remarks	239
Adjournment	244
Reporter's Certificate	245
Transcriber's Certificate	246

1 P R O C E E D I N G S

2 JULY 27, 2015

9:39 A.M.

3 CPUC EXECUTIVE DIRECTOR SULLIVAN: First of all,  
4 I'm Timothy Sullivan. I'm the Executive Director of the  
5 Public Utilities Commission.

6 And on behalf of the Commission, I want to  
7 welcome you to this workshop today. We are thrilled to  
8 host this interagency workshop and we're excited and  
9 looking forward to the agenda.

10 I want to particularly thank the California  
11 Energy Commission and the Governor's Office of Planning  
12 and Research for coming from Sacramento, down to San  
13 Francisco, for this particular session.

14 I also want to, on behalf of everybody here, I  
15 want to thank Commissioner Randolph, who is the driving  
16 force behind this workshop and it is she who's brought  
17 it all together.

18 Now, in April, Governor Brown issued an  
19 Executive Order that called for major reductions in  
20 carbon emissions. In fact, he has ordered us to reduce  
21 emissions, carbon emissions by 40 percent below 1990  
22 levels by 2030. And it's the most aggressive goal in  
23 North America.

24 But this Executive Order was also groundbreaking  
25 in its call for plans to adapt to climate change.



1 Because despite everything we're going to do to reduce  
2 carbon emissions, climate impacts will still occur.

3 Today, you will hear from climate experts about  
4 the impacts that are affecting us today and those that  
5 are anticipated to affect us in the future.

6 You'll also hear some of the options for  
7 adaptation from the experts here in California, and  
8 nationally.

9 We have a great agenda and I think it will be a  
10 very informative day.

11 Now, I was thinking a little bit, before coming  
12 here, about, well, what is adaptive change? Well, I  
13 think that in most of the literature they think of two  
14 types of changes. Technical change, where you change  
15 the technology, apply expertise, or create a device, or  
16 do something. And that's a technical challenge.

17 Adaptive challenge is more on that softer side.  
18 And if you think about the recycling efforts over the  
19 last years, you can see the technical change, which is  
20 the new garbage cans that usually are divided, and you  
21 put the paper on one side and the plastic on the other.  
22 And that's pretty much the technical change. You load  
23 them in the cart, you take them away, and each goes on  
24 its merry path.

25 The adaptive challenge, of course, is to get

1 people to sort their garbage in advance, before putting  
2 it out.

3 Now, a lot of people think of this -- actually,  
4 a lot of people don't think of this, but this turns out  
5 to be pretty critical.

6 I'm going to speak a little bit from my own  
7 experience. When this first happened in Berkeley, my  
8 wife thought that this was a plot against women because,  
9 after all, women got stuck with taking care of most of  
10 the garbage in the house. And she thought it was just  
11 something that was trying to steal time away from her.

12 Eventually, she got over that. But then, she  
13 didn't like the scheme for Berkeley. Berkeley, what we  
14 have is we have paper, and then we do recycling, but  
15 only if they're stamped with a 1 or a 2 on the bottom.  
16 She thought it didn't make sense. She thought a more  
17 logical scheme for sorting garbage was dry versus wet.

18 And so, no matter what happens, our garbage is  
19 sorted dry after wet.

20 On the other hand, this doesn't mean that no  
21 adaptive change takes place. Every garbage day, which  
22 actually happens to be today, Monday, I take the garbage  
23 out to the curb. And I find out that you can fish out  
24 all of the cans and bottles, and then just put them and  
25 sort them on the curb.

1           It seemed to be that that adaptive change, in  
2   our household, was easier than convincing my wife to  
3   sort the garbage according to the Berkeley norms.

4           The only person in my house who was crazy enough  
5   to try and change my wife's idea was actually my  
6   daughter, and she's run up into a roadblock.

7           Now, what I think we'll probably hear today is  
8   that adaptive change and adaptation is very fluid. So,  
9   I hope you will keep this in mind.

10          Technical change, although it is a technical  
11   challenge, it's often easy. Adaptive change is  
12   something that is hard.

13          Now, I have a few sort of housekeeping messages  
14   to say before I turn it over to Commissioner Randolph.

15          First of all, a safety message. This being  
16   California, you never know when the next earthquake will  
17   strike. And, actually, within the emergency field, an  
18   earthquake is known as a self-notifying event.

19          So, if we get a self-notifying event, you will  
20   see the way to get to a safe place is you go out the  
21   doors on either side of the auditorium. And then, we  
22   actually have a meeting point, which is actually  
23   Jefferson Park, which is on Turk and Gough. And it's a  
24   good place to meet in an earthquake because it's open  
25   and there won't be things falling on you.

1 I'm also supposed to make an announcement about  
2 ex parte issues. Ex parte is a complex law, which  
3 requires the notification and filing of specific  
4 information about our proceedings.

5 So, I'm going to ask everybody to avoid the  
6 issues that arise and ask you to not talk about any open  
7 proceeding before the Commission.

8 Also, for those who are -- actually, I guess  
9 this is sort of interesting. But today's workshop is  
10 being broadcast through the WebEx conferencing system  
11 and parties should be aware that you are all being  
12 recorded.

13 We'll post the audio recording on the  
14 Commission's website in a couple of days and a written  
15 transcript will be available in about a month.

16 At the end of the day, there will be opportunity  
17 for public comments. We're asking parties to limit  
18 their comments to three minutes. And if you'd like to  
19 make a comment at that time, please fill out a blue card  
20 and give it to the Energy Commission's Public Adviser,  
21 Alana Mathews, at the back of the room.

22 Alana, can you raise your hand? Oh, okay, Jovie  
23 is -- our person is subbing for her, so that's Jovie,  
24 over there in the back.

25 Okay. And one last thing -- well, that's it for

1 me. And I want to welcome you all here. And now, I'm  
2 turning this over to commissioner Liane Randolph.

3 CPUC COMMISSIONER RANDOLPH: Thank you, Tim.  
4 Our newly-appointed permanent Executive Director, we're  
5 very excited.

6 Thanks to all of you for joining us here today  
7 for this important discussion about climate adaptation.

8 Thanks, in particular, to Kristin Ralff-Douglass  
9 and Marzia Zafar for doing a lot of the legwork in  
10 putting this together. I really appreciate that.

11 Our purpose at the workshop is to examine the  
12 opportunities for the energy sector to adapt to the  
13 climate change that will take place in California and  
14 the changes already taking place.

15 The fact that I'm joined on the dais by  
16 colleagues from the CPUC, Energy Commission and the  
17 Governor's Office of Planning and Research, is yet  
18 another indication that this is a statewide multi-agency  
19 and multi-sector effort.

20 The impetus for this meeting, as Tim said, is  
21 the Governor's Executive Order issued in April, in which  
22 the Governor called upon each agency to plan for sea  
23 level rise and other climate impacts through the  
24 coordination of the State Climate Adaptation Strategy.

25 I was interested in hosting this meeting so that

1 we could begin to move from the planning stage on  
2 climate adaptation to the implementation stage.

3           The energy sector is taking very aggressive  
4 actions to mitigate climate change by reducing our  
5 emissions. Utility adaptation measures are also  
6 essential. Because even with our mitigation measures,  
7 we will still experience the consequences of climate  
8 change because of our already accumulated greenhouse  
9 gases.

10           Data shows that climate changes leading to sea  
11 level rise, more extreme storms, heat waves, wildfires,  
12 changing weather patterns and changing disease patterns.

13           Though these impacts are certain, we still face  
14 uncertainties as to their timing and their magnitude.

15           These uncertainties lead to our next challenge,  
16 determining the cost benefit analysis we should use to  
17 determine adequate investment in adaptation and parsing  
18 out responsibilities in managing climate change risks  
19 between our agencies, regions and communities.

20           The energy sector is no stranger to assessing  
21 risk. In our Resource Adequacy Program we have employed  
22 extensive, probabilistic modeling to identify potential  
23 outage incidents and ensure adequate procurement for the  
24 reliable operation of our grid.

25           In the area of safety, the Commission's

1 currently developing risk assessment methodologies to  
2 integrate safety into general rate cases.

3           These methodologies will drive accurate  
4 investment in utility programs and infrastructure. We  
5 can use these similar skills, that we've developed, to  
6 address utility climate change adaptation needs.

7           I am pleased to see the progress in national and  
8 regional approaches to adaptation in the energy sector  
9 and methods for developing robust adaptation plans. And  
10 I look forward to seeing the continued efforts of the  
11 utilities in doing their part to adapt to the impacts of  
12 climate change.

13           Thank you, as I mentioned, to the staff of the  
14 CPUC and to the staff of the CEC for putting this  
15 workshop together. And thanks so much to Chair  
16 Weisenmiller for reaching out and helping us put this  
17 all together.

18           And I will introduce Chair Weisenmiller and he  
19 can make a few remarks.

20           CEC CHAIR WEISENMILLER: Thank you. It's great  
21 to be here today and I'd like to thank the CPUC for  
22 hosting this event.

23           I think, when we were in Beijing, the Governor  
24 made the point that climate change is one of the things  
25 that unites all of us, now, and that it forces all of us

1 to work together on a global scale to deal with climate  
2 change.

3 And California's had a program for a number of  
4 years to deal with climate change. One aspect of that  
5 is research and that research has laid a foundation for  
6 today's workshop on how our climate is changing, and  
7 what that means for us in terms of adaptation.

8 We also have a very vigorous program on  
9 mitigation. And, you know, basically that combination  
10 of research, mitigation and adaptation is the way we're  
11 going to have to get through this crisis.

12 Adaptation is the area where, obviously, there's  
13 a lot of evolving terminology. All of us struggle with  
14 adaptation, resilience, readiness, sustainability. But  
15 it's all fundamentally the same thing.

16 I mean, when we published our third climate  
17 assessment, the thing that was pretty clear, as we all  
18 know, first that our energy system, the emissions are  
19 influencing our climate now. And, at the same time,  
20 those climate changes are influencing our energy system.

21 And that means we really have to rethink.  
22 Obviously, a lot of our energy system are very  
23 complicated, a long path infrastructure, which is  
24 particularly vulnerable.

25 I mean, obviously, the PUC has the challenge of



1 not just energy, but telecommunications, water and rail.  
2 So, all of that, some of our real fundamental  
3 infrastructure that we're making major investments in  
4 now, we'll continue to make investments, but we're doing  
5 it in what's a changing world.

6 One of the examples I always use is forest  
7 fires. It used to be, in California, that once every  
8 ten years we'd have a horrific forest fire. If you were  
9 to rank the top 20 forest fires in California history,  
10 13 of them are from the last decade. And, in fact, if  
11 anything it's accelerating.

12 Now, those of us in State service get texts from  
13 the Office of Emergency Services on the latest fire.  
14 You know, we're now sort of -- I think we're at three in  
15 the last few days. So, again, it's something which is  
16 not something that climate change -- we're disrupting  
17 the climate in the way that it's not something that will  
18 affect either just the -- or just our grandchildren, but  
19 it's happening now. It's certainly happening in our  
20 communities at this very moment.

21 And, certainly, there's at least a strong  
22 scientific debate about whether the drought we're facing  
23 is a consequence of our climate disruption or if it's a  
24 natural cycle.

25 But again, we don't have the luxury of not

1 acting and waiting to find out.

2 So with that, I'll turn to Ken Alex.

3 MR. ALEX: Good morning. Thank you for being  
4 here. I have to admit that adaptation and resilience  
5 has often been the stepchild. I've spent a lot more  
6 time thinking and working on greenhouse gas emission  
7 issues, and less time thinking about adaptation and  
8 resilience. And I think that has to come to an end.

9 I think, for a long time I thought of it as  
10 waving the white flag in some ways. But as was pointed  
11 out to me, we can chew gum and walk at the same time.  
12 So, we have to pay attention to both and they're  
13 inextricably interconnected.

14 And we're about to embark on some major  
15 investments in infrastructure, locally and statewide.  
16 Right now, there are two special sessions in the  
17 Legislature, one around transportation funding and one  
18 around health. Both of those underscore, first of all,  
19 the significant needs, as we look into the future in the  
20 State of California, in those areas, but also that they  
21 are tied, like much of what we're doing in the State, to  
22 climate, to climate change and how we respond to those  
23 challenges.

24 So, even as we think about what's next in terms  
25 of reducing emissions, of moving away from oil, of

1 increasing renewables, each aspect of emission reduction  
2 also has an aspect of resilience and adaptation, and the  
3 massive investment that we're making and the wholesale  
4 change that we're making to our energy system.

5           So, this is an extremely timely effort and  
6 workshop by the PUC and the Energy Commission. The  
7 Governor's Office of Planning and Research has called  
8 out, and the Governor's Executive Order is one of the  
9 agencies or one of the entities that is supposed to  
10 coordinate response. And during the course of the day,  
11 you'll hear about some of those efforts, as well.

12           But we are absolutely committed to making smart  
13 choices and using our limited dollars in an intelligent  
14 way, that is about resilience and adaptation.

15           So, thank you, and I look forward to the  
16 proceeding today.

17           CPUC COMMISSIONER RANDOLPH: And we are joined  
18 here, this morning, by CEC Commissioner Karen Douglas  
19 and PUC Commissioner Mike Florio.

20           Commissioner Douglas, did you have anything you  
21 wanted to add?

22           CEC COMMISSIONER DOUGLAS: I just wanted to say,  
23 briefly, I appreciate the change to be here. It's nice  
24 to be doing this as a joint forum. It's a really  
25 important topic.

1           And as Ken said, you know, it definitely calls  
2   for a lot of interagency collaboration, and supported  
3   and coordinated by the Governor's Office. So, I'm very  
4   happy to be here, thank you.

5           CPUC COMMISSIONER FLORIO: Welcome everyone,  
6   particularly our esteemed guests from the Energy  
7   Commission and the Governor's Office.

8           I guess I mostly want to echo what Ken Alex  
9   said, that we spend a lot of our time here, at the PUC,  
10   trying to prevent greenhouse gas emissions and climate  
11   change. But we do have to also recognize the reality  
12   that it's impacting us today.

13          In some ways, these are the harder things to  
14   figure out is where might the threats come from and what  
15   do we do about them?

16          Certainly, some of the states on the East Coast,  
17   that were impacted by Super Storm Sandy, have kind of  
18   gotten a little bit of a head start on us, through their  
19   hard experience. But we know that these threats are  
20   just around the corner, if not today.

21          So, important work, a lot to learn. And I look  
22   forward to the presentations. Thank you.

23          MS. RALFF-DOUGLAS: Good morning. We have a  
24   great lineup of speakers this morning. And I am  
25   thrilled to introduce Dan Cayan as our first speaker.

1           He's the Director of the Climate Research  
2 Division of the Scripps Institution of Oceanography, and  
3 he's also a Researcher with the U.S. Geological Survey.

4           DR. CAYAN: Thank you, Kristin. I guess that's  
5 on. So, truth in advertising. I was the director, I am  
6 no longer.

7           So, as Commissioner Weisenmiller mentioned,  
8 California has gone through a set of climate change  
9 assessments. Three of them since Governor  
10 Schwarzenegger's Executive Order in 2005. And the State  
11 is now watching the fourth of those assessments.

12           I'm going to give you some samples from along  
13 that path. Not all of this is entirely currently, but  
14 the points I want to make I think are salient, and well-  
15 illustrated regardless of the generation of information.

16           Acknowledgements to my colleagues and to various  
17 funding agencies, including those in California, who  
18 have made this possible.

19           So, we're going to take a little fly through on  
20 climate change. It's not comprehensive. Time won't  
21 allow. But it's targeted towards energy.

22           Here's a time history, looking retrospectively  
23 and prospectively. This is all through the lens of  
24 climate models. These days, we actually look at  
25 ensembles of climate model simulations, not an

1 individual model because there is a lot of uncertainty,  
2 of various forms.

3 And what I've shown here in the dark lines are  
4 the median values amongst 14 different models. And when  
5 we look forward, there's three different scenarios of  
6 greenhouse gas emissions and other human behavioral  
7 characteristics.

8 Obviously, the red trace is the higher end  
9 greenhouse gas emission, ranging to the brown, sort of a  
10 mid-range, rather optimistic. And to the blue, at this  
11 point looks extremely optimistic that we would achieve  
12 what is called RCP 2.6 -- 2.6 watts per square meter,  
13 out of radiation balance by the 2100 mark. The red one  
14 is 8.5 watts per square meter.

15 Currently, we are less than 1 watt per square  
16 meter out of radiation balance by various community  
17 estimates of what comes in and goes out.

18 And, of course, the reason that climate change  
19 is such a generational problem is these greenhouse gases  
20 have long lifetimes. Carbon dioxide, many decades, over  
21 a hundred years. And, consequently, the results  
22 accumulate.

23 The other thing about this is, if you notice,  
24 these temperature solutions here, they don't really  
25 diverge until somewhere near mid-century. And the

1 reason is that by mid-century the cumulative effects  
2 mount to the extent that the different pathways are  
3 decisions, Ken's decisions start to matter.

4 But up until then, we are pretty much  
5 indistinguishable, in many ways, in the climate. We are  
6 committed to climate change, as Chairman mentioned. And  
7 even under the -- at least by the viewpoint of these  
8 models, even with the most optimistic solution, we are  
9 flirting with the 2 degree Celsius above historical  
10 averages, that's the dotted line there on that chart, by  
11 the middle part of the century, with each of these  
12 scenarios.

13 So, as Ken mentioned, adaptation cannot play a  
14 backseat role. We are confronted, in my opinion, in  
15 looking at the evidence.

16 Another interesting thing about what's coming at  
17 us, again from the viewpoint of the climate simulations,  
18 is the fact that when you look at the annual cycle of  
19 warming it's not a monotone signal. We actually have  
20 more warming that will likely occur over land masses in  
21 the summertime than we do in the wintertime. And, of  
22 course, that involves land surface feedbacks. As we dry  
23 out land surfaces, the air near the surface warms even  
24 more.

25 Over the oceans, this is not such an effect and

1 there's a gradient, of course, along our coast where  
2 we're standing, sitting today, to Sacramento. But it  
3 looks like we will see, perhaps, a time and a half of  
4 the amount of warming in the summer than we may have in  
5 winter.

6 And if we're considering, for example,  
7 electrical load from air conditioning, this would seem  
8 to be pretty important.

9 Just as a reminder, I think Craig is going to  
10 speak to the electrical system's response to climate  
11 change and various measures to adapt.

12 This is a figure that was put together by  
13 authors here in California, including Art Rosenfeld, who  
14 most of you know, that illustrates the response of the  
15 daily peak load in California. This happens to be for  
16 one year, 2004, to statewide maximum temperature  
17 population weighted.

18 And, of course, once we reach mid-70s of  
19 Fahrenheit in temperature, then we start to see pretty  
20 strong responses. Approximately, a gigawatt of peak  
21 load per every degree Fahrenheit of temperature  
22 increase.

23 So, of course, if this translates into the  
24 future, and there's a lot of reasons that that becomes  
25 complicated. But if it does, a temperature rise of 2



1 degree Celsius, which is 3.8 Fahrenheit, has several  
2 gigawatts of consequence. So, that's certainly a  
3 concern.

4           This is essentially a cartoon of temperature on  
5 a summer day, an average summer day in Central  
6 California. I'm not trusting the pointer. But we are  
7 sitting just off the edge of the southwestern portion of  
8 this map right now. And you'll recognize the Sierra  
9 Nevadas. That's that blue stripe there. Tioga Pass,  
10 most of you know where that is, Owens Valley, and so  
11 forth.

12           The temperature color key is intuitive, so red  
13 is hot. You can see Death Valley in this picture. That  
14 was today or an average over 1961 through 1990. This is  
15 mid-century and that's the end of century, using a -- I  
16 would say a respectable, but not presently up-to-date  
17 climate model.

18           But regardless of what model I showed you, you  
19 would see something like this as far as the --  
20 essentially the expansion of much warmer temperatures  
21 over the California landscape, as we move into the  
22 future.

23           It's not only mean temperatures that will  
24 change. It's also extremes in temperature. So, this is  
25 a portrait from, in this case, a series of several

1 climate simulations to show you the amount of scatter.  
2 And this is, again, a generation ago. But these are  
3 what I labeled as a heat wave in San Diego. In downtown  
4 San Diego, we're kind of wimpy, so I labeled a heat wave  
5 as 82 degrees Fahrenheit. I know that doesn't make  
6 sense to a Sacramento person, but it's all relative.

7           If I showed you the Sacramento picture, it would  
8 be about the same.

9           In the historical period, under this definition  
10 we have about four of those events per year. And each  
11 dot is a model. Warm season, between April and October,  
12 and I've simply counted the number of events. And  
13 there's two different emission scenarios represented  
14 here, a higher and a mid-range emission scenario.

15           And you can see the 20-per-year dotted line  
16 there, which starts to be sort of overtaken by about  
17 mid-century. And, of course, the higher emission  
18 scenario climbs more rapidly and more intensely by the  
19 end of the century there.

20           Heat waves become more frequent, but not only  
21 more frequent, but more intense, of course, if we use  
22 today's standards. And also, more durable, they last  
23 longer.

24           So, a challenge to not only human systems, but  
25 ecosystems, of course, if this plays out.

1           Another interesting thing is that much as we've  
2   seen historically, we know that the amount of warming  
3   that we've seen over much of the Northern Hemisphere  
4   landscape has been more concentrated in nighttime hours  
5   than daytime hours.

6           And if we look into climate simulations, here  
7   we're showing the occurrence of maximum temperatures  
8   exceeding the 95th percentile here for the June through  
9   August period. This is a slide that my colleague, David  
10   Pierce put together very recently. This is down-scaled  
11   data, 32 simulations, different global climate models.  
12   And, actually, two emission scenarios, 8.5 and 4.5.

13   That's the two different bar and whisker pictures here.

14           But the take home message is you see a climb in  
15   the incidence of the fraction of the 90 days, or so, in  
16   June through August, when we find these very warm  
17   temperatures.

18           You can see the swarm of model solutions.  
19   That's the gray to yellow background there for the two  
20   different scenarios.

21           But what I would call your attention to, this is  
22   the afternoon temperatures and this is the nighttime  
23   temperatures. So, what we're seeing is about something  
24   like a time and a half more extremes as we move forward  
25   in time, in the nighttime, than in the daytime. It

1 doesn't mean that daytimes are not warming, but it means  
2 that the nighttime temperatures during these extreme  
3 events are not cooling off as much.

4           And, of course, I think that, as well, could be  
5 a challenge when we look forward.

6           Another challenge that we have in sort of  
7 processing and understanding all of this is that climate  
8 models really don't do a great job of lots of different  
9 kinds of clouds, including the stratus clouds that  
10 affect our coastal area. No stranger at all to San  
11 Francisco.

12           But that's one of the phenomena that really  
13 modulates the amount of warming. The easiest way to  
14 cool a land surface is to shade it and that's what  
15 clouds do.

16           So, in our collective research activities, this  
17 is certainly one of the processes and phenomena that we  
18 have to look into more closely as we go forward.

19           Water and energy, of course, are really tightly  
20 tied. And as climate warms in California, we're going  
21 to certainly see impacts in our mountain snowpack. We  
22 saw that very, very strongly this last year, not only in  
23 California, but throughout the west.

24           And as we go forward, we are looking,  
25 optimistically, at probably the loss of about half of

1 the springtime water content in the California snowpack  
2 by the end of the century. So, this is a rather  
3 restrained model solution. This is the color scheme is  
4 the fraction of snow that remains in early, mid and  
5 latter part of the 20th Century, where the blue shading  
6 is pretty much 100 percent. The red shading is diving  
7 below 30 percent of today's levels. You can see the  
8 Sierra Nevada and parts of the Coast Range laid out  
9 there.

10           And you can see the lower parts of our  
11 elevational catchments are suffering, first, and  
12 strongest. Again, by the end of the century, for this  
13 solution, we've lost about half of the California  
14 snowpack.

15           So, we've looked at this, now, with a family of  
16 different models, where we've aggregated the entire  
17 springtime water content over the California watersheds,  
18 collectively. And what you see here is the median being  
19 that dark line. Each dot is a model solution. There's  
20 32 different simulations represented here, both higher  
21 and mid-range models.

22           But what I'd like to point out is that we don't  
23 actually, in the future, entirely lose a snowy year.  
24 It's just that they don't happen that often anymore.  
25 And what happens more and more frequently is the fact

1 that we get extremely depleted snow years, when we have  
2 probably both warmer temperatures and, to some extent,  
3 deficient precipitation.

4 We also have, of course, coastal problems. That  
5 was alluded to in the introductory remarks. And along  
6 our coast sea level rise is -- of course, it's going to  
7 be an issue. But it's really going to come to a head  
8 when we have big storms and high tides. And oftentimes  
9 we see those conditions with other climate situations  
10 going on.

11 Looking into the future, I would say that a mid-  
12 range community value for sea level rise along the  
13 California coast, over the 21st Century, is about three  
14 feet of excess over today's levels. That's the dark  
15 trace on this picture.

16 And the blue sort of histogram-like bars there  
17 are the number of extreme high sea level hours. This  
18 being a model calculation over San Francisco tide gauge,  
19 where in the present day we see such an extreme about  
20 one hour out of every year. You can see that in the  
21 future, we're really eclipsing that quite markedly by  
22 mid-century. And then, by the end of the century, of  
23 course, we really have a new game that we're playing.  
24 We're seeing exceedances on a very, very frequent basis.

25 So, much like other extreme phenomena, global

1 change is really changing, essentially, the mean state.  
2 And if models are at all accurate, this is going  
3 essentially in one direction, even though there are ups  
4 and downs. If you look over the longer period, it's  
5 trending up and not returning.

6 This is what we've seen historically in San  
7 Francisco, as far as sea level exceedances. So, we go  
8 back here to the World War II period or just after, and  
9 looking forward. There were two years that really stand  
10 out, those years being very large El Nino conditions of  
11 '82-'83 and '97-'98. Many of us were here through those  
12 periods and saw some of this.

13 I think the message here is that sea level  
14 coastal problems are not going to occur every year.  
15 They're going to occur itinerantly. But as mean sea  
16 levels rise, they're going to occur with, again, greater  
17 intensity, probably greater frequency, and last longer.

18 This was a lead in, because I was asked to  
19 mention the fact that we have a situation right now in  
20 the Pacific Ocean, where the tropics have warmed  
21 markedly over this last few months, so there is an El  
22 Nino that's in place right now. That's that tongue of  
23 warm water along the tropical Pacific, from the South  
24 American coast out to the dateline.

25 And this is a well-studied phenomena. When this

1 situation occurs in wintertime, at least in some  
2 conditions -- it didn't last winter. But in some  
3 conditions, it couples with the atmosphere, changes the  
4 circulation of the Pacific storm track, shifts that  
5 southward. And in some cases, like 1983, like 1998, we  
6 get more storminess that penetrates California. Coastal  
7 problems, but also big water years.

8           And, of course, this last four years we've been  
9 extremely deprived of precipitation. And one would like  
10 to see a game changer coming along, like this.

11           It probably will not totally circumvent the  
12 deficits we've accumulated over four years. But if it  
13 does turn out to be a wet year, it will certainly help.

14           A warning, though, is that when we look at  
15 previous El Nino conditions, which are shown here by the  
16 red dots, historically this happens to be for the  
17 Sacramento drainage, as shown in the inset on that  
18 postage stamp little map there, on the bottom right.  
19 That what we're showing is the amount of precipitation  
20 in each of the October through March, essentially the  
21 core winter months that occurred during El Ninos. La  
22 Nina is the opposite cool phase of the Pacific Ocean.  
23 And neutral phases, that's the middle, green-shaded  
24 ones.

25           What you're struck by is the fact that not all



1 of the El Ninos are wet. Some of the strongest El Ninos  
2 are wet, such as '83 and '98, two dots there at the  
3 upper left.

4 But there's several other cases that give us a  
5 little reason for caution in declaring next year to be a  
6 wet year. So, just take that as a little bit of  
7 cautious optimism as far as this next winter.

8 So, in summary, we are seeing, no doubt, the  
9 early signs of climate change from the atmosphere,  
10 itself, to various of our physical systems. The  
11 environment that we have grown accustomed to, from  
12 historical records, is really not the one that is going  
13 to confront us in the decades to come.

14 So, we have to add to that historical  
15 perspective with the evidence, the models and other  
16 climate kinds of logic are going to inform us with.  
17 There's important phenomena that the models are telling  
18 us, such as summers will probably be warming more than  
19 winters. There's perhaps more warming at nighttime,  
20 than in the daytime. Water and energy systems are  
21 linked and there's a whole set of problems and phenomena  
22 to contend with there.

23 Our coastal areas are going to play a role. And  
24 in the shorter term, these large El Ninos, when they're  
25 tacked onto sea level rise, are probably going to

1 present us with challenges along the coastline.

2 Thank you.

3 (Applause)

4 CPUC COMMISSIONER RANDOLPH: Do you have any  
5 questions?

6 CEC CHAIR WEISENMILLER: Yeah, I've got a  
7 couple. I'll start with a story, where when we lost San  
8 Onofre we were looking at the reserve margin we had in  
9 San Diego, which under the worst case was going to 13  
10 megawatts.

11 And at that point the Governor asked me to  
12 translate that back to delta in temperature and it was  
13 .3 degrees.

14 So, I guess the story is that as we look at  
15 these things we have to think more and more about a lot  
16 of our models are sort of average and adverse, either  
17 for weather or for hydro. And to the extent both are  
18 changing pretty dramatically, it can have really major  
19 impacts on our energy system.

20 We are trying to build into our forecast, now,  
21 the changes in temperature that we expect from climate  
22 change and so that we have sufficient resources.

23 But again, I think part of the message is that  
24 there are pretty huge changes.

25 I guess the one thing I wanted to ask you, you

1 talked about hydro in California and how that's going to  
2 be affected. We also relied pretty significantly on  
3 hydro from the northwest and also from the Colorado  
4 River. So, how does those impacts interact with our  
5 hydro changes?

6 DR. CAYAN: They're very different. The  
7 Colorado being the most arid basin in the west. The  
8 runoff ratio, the amount of water that gets essentially  
9 partitioned into stream flow, into the Colorado system  
10 is relatively lean. So, any incremental change increase  
11 of evapotranspiration loss to the atmosphere feels large  
12 compared to what is devoted to the Colorado flow.

13 So, warming in the Colorado system will probably  
14 result in declines of the Colorado flow in future  
15 decades because of the compounding effect. That's  
16 simply temperature resulting.

17 The precipitation solutions that we've seen in  
18 the last two generations of climate models are a little  
19 different. The third -- the fourth IPCC family of  
20 models were a bit drier than the latest, fifth IPCC.  
21 So, that's probably some room for optimism.

22 So, it looks like the southern part of the  
23 Colorado Basin may dry a bit over time. The northern  
24 part may not dry. If you look at lots of models, the  
25 consensus is not real strong there.

1           In the Pacific Northwest, it does look like the  
2 Columbia Basin, which is the seat of where we get a lot  
3 of hydro power there, will actually get a little bit  
4 wetter. In general, the northern latitudes are becoming  
5 wetter as a rule of thumb because the atmosphere is  
6 getting moister. So, there's lots of storminess there.  
7 And they're likely to actually, I think, become rainier,  
8 but not snowier.

9           So, one of the problems, I think in the Columbia  
10 Basin, will be how they deal with more water when they  
11 don't actually want runoff, they'd rather have snow  
12 storage. So, that's a problem as they go into the  
13 future.

14           But I would say the Colorado is not a -- it's  
15 not a good message as far as water supply for  
16 California. I don't know if that's -- as far as hydro  
17 power, I would think the Northwest is more important.  
18 And there, they have a management issue in dealing with  
19 a rainier, flashier system than what they have today.

20           CEC CHAIR WEISENMILLER: It's interesting. From  
21 the energy perspective, there's a lot of storage  
22 capacity on the Colorado River and very little on the  
23 Columbia. So, from a power perspective, those trends  
24 are, you know --

25           DR. CAYAN: Yeah.

1           CEC CHAIR WEISENMILLER: I had asked you to sort  
2 of talk about the El Nino. In part, I know the Marines  
3 and Navy were thinking very much about the transmission  
4 on their infrastructure from very dry to very wet, and  
5 what that could mean for next year.

6           DR. CAYAN: Well, we hope for very wet, but  
7 we're not guaranteed of very wet. So, I would say that  
8 this El Nino is certainly looking pretty robust right  
9 now. The trajectory over the last few months has been  
10 strengthening. The Eastern Tropical Pacific is warmer  
11 today, than it was in May. And there's a big reservoir  
12 of warmth below the surface in the Pacific Ocean.

13           So, that bodes well for this situation  
14 continuing through the winter period. But we've seen  
15 lots of flavors of previous El Ninos. And I would say  
16 at this point, this one does not look quite as strong as  
17 the two really remarkable events that we saw  
18 historically, '82-'83 and '97-'98. So, it bears  
19 watching, but I don't know anybody that's really willing  
20 to stick their neck way out as far as a wet forecast.

21           CEC CHAIR WEISENMILLER: No, I think we're stuck  
22 hoping for the best, but planning for the worst case.

23           DR. CAYAN: There you go.

24           MR. ALEX: Can I ask you, have the models given  
25 us any insight into wind? For example, we have a fair

1 amount of electricity, now, coming from the Tehachapi's.  
2 Do we expect over time that that's going to continue,  
3 and also in some of the other, windier places in  
4 California?

5 DR. CAYAN: Yeah, that's a great question. Our  
6 wind energy is -- I'm probably getting beyond my depth  
7 here, but I think we have a pretty strong summer wind  
8 regime. And anybody on the docket, or in the audience,  
9 can correct me.

10 I think that's a good thing here because, as I  
11 mentioned, we're seeing more warming over the  
12 continental land masses than we are over oceans. And  
13 that thermal gradient, I think, is going to be -- is  
14 going to be reinforced. It's going to be larger in the  
15 future, than it is today. And just from sort of seat-  
16 of-the-pants logic, that would drive a stronger sea  
17 breeze thermal circulation.

18 The models that we have are very, very granular.  
19 They're computed at spatial grids of 200 kilometers, or  
20 something like that. So, they don't handle this kind of  
21 Meso-scale circulation very well.

22 So, I think one of the messages here is the  
23 importance of the regional modeling with dynamical  
24 models that have, you know, solve the equations of  
25 motion and so forth, in order to verify those empirical

1 results.

2           We've looked at large scale features from some  
3 of the models and done a statistical gambit to try to  
4 get out this, and they look promising as far as the  
5 circulation. But I don't think we can be entirely  
6 confident without going through the next step of the  
7 dynamical solutions.

8           So, you know, I hate to be a researcher, calling  
9 for more research, but that's what I just did.

10           CPUC COMMISSIONER RANDOLPH: Okay, thank you.  
11 Were there any other questions? Okay.

12           I especially want to thank Dr. Cayan for coming  
13 in on such short notice, we really appreciate it.

14           And thank you to Guido Franco, who helped secure  
15 the speakers. He's my partner in crime on this event.

16           Our next speaker also dropped a lot of things to  
17 come and talk with us today. Dr. Craig Zamuda, from the  
18 DOE Resilience Partnership. And so, I'd like to invite  
19 him to come speak to you next.

20           DR. ZAMUDA: Good morning. Let me thank you for  
21 this opportunity to join with you, both the Public  
22 Utilities Commission, the Energy Commission and the  
23 Governor's Office. I appreciate the opportunity.

24           Very timely, a conversation to be having, and  
25 always a challenge to follow the inspirational notes.

1 Dan, thanks for that uplifting morning conversation in  
2 terms of the challenges that we have out there.

3           Hopefully, I can provide a transition from the  
4 good, the bad, the ugly to there's hope and optimism for  
5 the future. Because the good news is, there is.

6           So, I'm going to spend a few minutes talking  
7 about some of the work that we're doing at the  
8 Department of Energy, both to help characterize what are  
9 the vulnerabilities that lay in front of us with regards  
10 to the energy sector, what are some of the resilient  
11 solutions that are out there, that we can employ today  
12 and, hopefully, innovate technologies that are coming  
13 tomorrow to lower the cost of innovation and resilience.

14           And third, I guess is to talk about the  
15 partnership. We recognize that the majority of energy  
16 infrastructure in this country is owned and operated by  
17 the private sector. So, we recognize that to be  
18 successful in terms of resilience we're going to have to  
19 partner with the private sector, and state and local  
20 governments, because all of these decisions will  
21 ultimately be local decisions in terms of improving  
22 resilience.

23           So, let me start with some of the drivers we  
24 have at the Department, including the President's  
25 Climate Action Plan that we're celebrating the second



1 anniversary of that plan.

2           That plan really provided a framework for how  
3 we're going to, at the federal level, look at mitigation  
4 and adaptation. And it, in essence, requires all  
5 federal agencies to develop adaptation plans and  
6 implement those plans.

7           So, going back to Commissioner Randolph's  
8 comments, we need to move just beyond the planning phase  
9 and getting the implementation. So, that's a  
10 requirement for all agencies to do that, to look at  
11 their mission, look at the impact of climate change,  
12 assess their vulnerabilities and put in place effective  
13 resilient strategies. Whether the part of the mission  
14 they're looking at is domestic or international.

15           Also, there are a couple of reports that have  
16 come out. One that California helped develop in the  
17 State, Local and Tribal Leaders Task Force that reports  
18 to the President, reported to the Council on Climate  
19 Preparedness Resilience.

20           Included membership from California, it included  
21 the Governor from California, and several mayors from  
22 California, as well as representatives from throughout  
23 the country.

24           This is a report that really laid out  
25 recommendations in terms of what the federal government

1 ought to be doing with regards to climate adaptation.  
2 Not just in the energy sector, but across all sectors.  
3 So, that has helped drive the work that I'm going to be  
4 talking about here, today.

5           And most recently, back in April, the  
6 Administration issued a report, the Quadrennial Energy  
7 Review, which took a broad look, and looked to the  
8 future in terms of what are the implications with  
9 regards to our current energy system, with regards to  
10 energy security, energy reliability, energy resilience.  
11 Where are those actions that we need to be pursuing as  
12 we move forward. So, all of these instruments have  
13 helped frame the work that we're doing at DOE.

14           I guess most practically speaking is work that  
15 we've done in terms of analytical assessment of climate  
16 trends in the U.S. and those impacts. So, we issued a  
17 report, that you see the image of here, back in 2013,  
18 that looked across the U.S. It looked at climate  
19 change, really, from three basic drivers. And that is  
20 decreasing water availability, increasing temperatures,  
21 and increasing sea level rise, intensity, storm surge,  
22 et cetera, and more intense hurricanes, and how do those  
23 three major climate-related risks impact the energy  
24 sector?

25           And I won't walk through each of these

1 particular impacts. But you can see, with regards to  
2 decreasing water availability, it's pretty straight  
3 forward. Thermoelectric power plants require water.  
4 Less water, less ability to generate electricity. Ditto  
5 for hydro power. You all recognize that here, in the  
6 great State of California, in terms of available water  
7 for hydro power and how that capacity has been  
8 diminished, particularly in the last year or more.

9           Also, with regards to increasing temperatures,  
10 we see how energy demand will go up, increased need for  
11 cooling, increase penetration of air conditioners, et  
12 cetera. At the same time that demand is going up, we  
13 see the impact of higher temperatures on energy supply.

14           So, for thermoelectric power generation, the  
15 efficiency of generation decreases at warmer  
16 temperatures. For transmission and distribution of that  
17 electricity, it also decreases with warmer temperatures.

18           So, we see this imbalance between the effects of  
19 climate change in terms of decreasing supply, at the  
20 same time -- sorry, in terms of increasing demand, at  
21 the same time of decreasing supply.

22           Similarly, for increasing sea level rise and  
23 storm surge, particularly on the East Coast and Gulf  
24 Coast we've seen the impacts. We have both subsidence  
25 going on, as well as higher sea level, which is having a

1 significant impact expressed, as was referred to here,  
2 with Super Storm Sandy. A classic example where not  
3 even a fairly intense hurricane, but the perfect storm  
4 in the sense of you had high tides, you had the  
5 increased force of winds and sea level rise all combined  
6 to have an impact.

7 Not just on the electricity assets, but these  
8 interdependencies of electricity on other sectors. Both  
9 the energy sector, where gasoline stations couldn't  
10 supply gas because they couldn't drive their pumps, and  
11 also on communication, transportation, water treatment.  
12 We have billions of gallons of raw sewage basically  
13 being dumped in the nation's waterways because the  
14 wastewater treatment plants didn't have electricity to  
15 be able to safely operate.

16 So, we see these implications. I think the key  
17 takeaway here, with regards to that report, was climate  
18 change and its impact on the energy sector isn't  
19 something we need to look to in terms of the future.  
20 It's here and now. It's having a significant impact in  
21 terms of cost and damages today.

22 The little cartoon on the bottom right, as we  
23 try to give actual examples over the last few years,  
24 where climate trends have actually expressed themselves  
25 and having impact on the energy sector.

1           The other thing is that there are actions  
2 underway. I think this afternoon you're going to hear  
3 from a number of utilities, work that's going on.

4           Our assessment in 2013, when we did this report,  
5 was, indeed, there was work going on to enhance  
6 resilience. But the pace, scale and scope of those  
7 activities were not in keeping with the nature of the  
8 challenge.

9           I just want to talk briefly about the work that  
10 the Department of Energy is doing, really in four major  
11 pillars. I'm going to come back and spend the rest of  
12 my conversation on the last two.

13           But I did want to highlight the fact that there  
14 are significant assets out there, in terms of our  
15 national laboratories. You have two here, in  
16 California, Lawrence Berkeley National Laboratory and  
17 Lawrence Livermore National Laboratory.

18           We have other laboratories across the nation who  
19 are kind of our research jewels for the country, working  
20 in collaboration with the universities and the private  
21 sector, or developing innovative technologies.

22           These technologies can be looking at energy  
23 efficiency, both building efficiency, appliance  
24 efficiency, and can be looking at smart grid and  
25 distributed generation that are part of the portfolio of

1 options in front of us, in terms of enhancing  
2 resilience.

3           They can be looking at more water and energy-  
4 efficient energy technologies. Now, we have this nexus  
5 between energy and water. For water you need energy,  
6 for energy you need water. For both situations we need  
7 to be more efficient, both with regards to energy and  
8 water.

9           So, there's a lot of work that can be done. But  
10 I think one thing we need to recognize, most of the  
11 energy infrastructure we're looking at, out there today,  
12 is as old as some of the people speaking to you today,  
13 all right. So, it was designed and built for the 20th  
14 Century.

15           And so, with regards to the need for innovation,  
16 there's a lot of technologies that are on the shelf  
17 today.

18           And what we need to do is really look at the  
19 second point, looking at the barriers. What's  
20 preventing us from investing in the technologies that we  
21 have today that can result in a more resilient energy  
22 sector? At the same time, where are the gaps where we  
23 need to be investing into the future?

24           The last two areas, in terms of the portfolio of  
25 work that we're doing at the Department is really to

1 look at providing better technical information,  
2 assistance, and decision support tools.

3           The previous speaker talked about climate  
4 resilience and global change models, and the need for  
5 greater granularity. Where it may be interesting to  
6 know what's going on, on a global basis, but you're  
7 making investments at the local level. We need that  
8 greater granularity in terms of what the trends are at  
9 that local level.

10           And we're trying to develop better models,  
11 better information to be able to provide that kind of  
12 information that will be useful for decision makers.

13           And, finally, we're all in this together. So,  
14 no matter where you look across the country, climate  
15 will have an impact. It affects all regions, it affects  
16 all elements of the energy sector. And so, working in a  
17 more collaborative fashion, and I'll talk about some of  
18 the examples that we're pursuing in the Department with  
19 some of the folks that are represented here, today.

20           I mentioned the report we put out in 2013.  
21 We're about to release a companion piece to that  
22 document. Hopefully, that will go out this month,  
23 although the days are growing short for this month. But  
24 I'd say within the next few days.

25           This report is A Climate Change in the U.S.

1 Energy Sector, Regional Vulnerabilities and Resilient  
2 Solutions. So, I'll talk a little bit more about that  
3 in a moment.

4 But the key thing between that first report and  
5 this report, we're diving down with greater detail,  
6 greater granularity in terms of regional implications.

7 Also, in terms of information and tools, so  
8 there's a lot of information out there, a lot of tools,  
9 models, et cetera that the Department has developed,  
10 that the federal government has developed. The key is  
11 to make those available to potential users, the  
12 stakeholders, the folks here in the room.

13 And there's one of these initiatives that were  
14 part of the President's Climate Action Plan. It's the  
15 Climate Resilience Tool Kit. I don't know if you're  
16 familiar with that. I've provided the link up here and  
17 I assume that these presentations will be made available  
18 as a follow up.

19 The Climate Resilience Tool Kit was really the  
20 government's attempt to put the information that it has  
21 into the hands of stakeholders.

22 And the energy theme, the Climate Resilience  
23 Tool Kit cuts across all sectors, transportation,  
24 communication, health, et cetera. The energy theme of  
25 that went live back in June.



1           So, if you haven't availed yourself of that  
2 resource, I'd suggest you do that.

3           And, finally, with regards to work that we're  
4 doing with regards to this particular pillar of the  
5 Department's portfolio, is really developing  
6 methodologies to better characterize what the cost and  
7 benefits are of investing in resilience.

8           It's pretty straight forward to talk about the  
9 costs of the investments. You just call an engineer in  
10 and they can kind of characterize what it's going to  
11 cost to employ some of these technologies.

12           The benefits is a little bit more elusive in  
13 terms of how do you characterize the benefits of some of  
14 these against some of these risks, that are kind of  
15 long-term risks, that are growing over time. There's  
16 some degree of uncertainty associated with them.

17           And, most importantly, a lot of the risks that  
18 you need to be addressing isn't just changes in mean, or  
19 annual temperatures, or rainfall, it's the extreme  
20 events. Okay, that's what you really have to be  
21 prepared for.

22           And the probability of those extreme events,  
23 looking at the benefits when you look across this  
24 probability, et cetera, is a little challenging and  
25 needs additional work. And we're hoping to make

1 advances in that regard.

2 With regards to the report, itself, this is a  
3 report that we really look at as diving deeper, in terms  
4 of looking at climate trends at the regional level,  
5 looking at vulnerabilities at the regional level,  
6 looking at potential resilient solutions. And so, the  
7 report actually provides specific examples of things  
8 that are going on across the nation, for each one of the  
9 regions, to build greater resilience.

10 We look at the audience as being folks  
11 represented here, state and local decision makers.

12 And the value we envision for this is providing  
13 an objective analysis that can help in terms of  
14 screening vulnerabilities, and in terms of developing  
15 that first cut of what resilience strategies could look  
16 like.

17 We basically have adopted the National Climate  
18 Assessment's framework for looking at the different  
19 regions. There's nine chapters outlined in the cartoon  
20 here, on the left.

21 We look across all the energy sectors. I'm  
22 sorry, you can't make out those subsectors very well, I  
23 guess. But we're going from energy supply to energy  
24 demand, and all the subsectors associated with that, be  
25 it thermoelectric, be it hydropower, be it fuels.

1           And for each chapter, we'll go through and  
2 address both what are the energy assets in that area,  
3 what are the vulnerabilities, what are examples of  
4 resilient strategies, and what are some of the options  
5 that may not have been exercised, yet, but can help  
6 contribute to greater resilience.

7           I pulled out some of the information from our  
8 Southwest Chapter, which includes California. And you  
9 can see these are examples of types of information we'll  
10 highlight. So, we'll talk about the higher  
11 temperatures, increasing air conditioning penetration,  
12 increasing energy demand, particularly during those  
13 summer peak demand periods.

14           At the same time, we'll talk about the effects  
15 of higher temperatures on the efficiency of generation,  
16 the capacity to provide the electricity, and how that  
17 will be impacted by climate change.

18           And we'll talk about things that the prior  
19 speaker talked to, about the effects of climate change  
20 on the precipitation patterns, both in terms of the  
21 amount of precipitation. I think he was contrasting the  
22 southwest, on average, is expected to have less  
23 precipitation in the future than the northern parts of  
24 the country.

25           But also, in terms of not just the amount of

1 precipitation, but the form of that precipitation. So,  
2 increasingly, in the form of rain versus snow. So, that  
3 storage mechanism you have for that winter snowfall,  
4 that you could be relying on for summer hydropower, when  
5 that falls as rain versus snow, you've lost that storage  
6 capacity. So, increasingly, we're going to have less  
7 water available for hydropower production, perhaps  
8 during that peak demand period during the summer.

9           With regards to resilient strategies, we go down  
10 a list of various actions that can be taken, from new  
11 capacity additions, hopefully, with climate-resilient  
12 technologies.

13           So, moving away from water-intensive,  
14 thermoelectric generation to, perhaps, application of  
15 dry cooling technologies, or wet-dry hybrid cooling  
16 technologies, which has a significant smaller water  
17 footprint.

18           Or moving towards renewables, such as wind, PV  
19 solar, with literally minimal water footprint.

20           So, these are all technologies that are out  
21 today. The progress is being made to deploy these types  
22 of technologies, but having a more concerted effort is  
23 probably more responsible as we move forward.

24           Other things, besides just those types of  
25 technologies. Smart grid, the ability to have better

1 control over the flow of electricity, to be able to  
2 isolate disturbances and outages and more quickly  
3 recover from those. And in terms of demand side  
4 management, where during that peak demand the utility  
5 may have the opportunity to go in and kind of control  
6 the amount of energy that's being used by consumers, and  
7 work out cooperative working relationships with  
8 consumers so that's an acceptable way to manage the  
9 problem.

10 Turbine upgrades. You may be familiar with Lake  
11 Mead. You've seen the kind of the water bath ring  
12 around the column there. And, you know, over the years  
13 those turbines, because there's less head to generate  
14 power, that decreases the efficiency of those turbines.  
15 So, there's increasingly efforts to replace the older  
16 turbines with more efficient turbines that can operate  
17 with lower head to generate the turbines.

18 And in terms of vegetation management, with  
19 regards to wildfires, vegetation management changing,  
20 hardening the infrastructure. Moving from wooden poles  
21 that would be susceptible to fires, to concrete/steel  
22 poles. There's a number of things that can be done.  
23 And the report tries to go through each region and kind  
24 of outline some of the work that's actually going on  
25 today.

1           We also tried to pull together an inventory of  
2 what are the things out there and have that included in  
3 the report. I'm not going to talk to this slide, other  
4 than to say if you get the report, you can see how the  
5 various resilience options associated both with physical  
6 hardening of energy infrastructure, as well as with  
7 regards to planning and operation of that infrastructure  
8 and actions that can be taken.

9           So, this is our first shot to really pull  
10 together an inventory of those options available. We'll  
11 follow this up with more detailed information, including  
12 information related to the cost and benefits of these  
13 types of options available. So, that should help in the  
14 decision making framework.

15           In terms of specific examples, I alluded to the  
16 fact that it's not just a conceptual description of what  
17 we could be done, we provide multiple examples of things  
18 that are going on.

19           Here's an example in terms of what are we doing  
20 with regards to heat waves, and higher temperatures.  
21 And the example is like Florida Power & Light, who are  
22 instituting efforts to control peak demand with their  
23 customers, and they're providing certain rewards and  
24 incentives to allow that to happen. Rebates for  
25 enhancement in the appliances, like air conditioners, to

1 have more efficient air conditioners out there. All  
2 with the effort of reducing that demand during that peak  
3 time period.

4           Entergy, another example, working in terms of  
5 weatherization and energy efficiency initiatives to  
6 lower their demand. I would say, I've listed Entergy  
7 here, but I would be remiss if I didn't note the great  
8 work that Entergy has done in terms of looking at sea  
9 level rise and storm surge in their Gulf Coast Study.

10           So, a classic study of looking at not only what  
11 the threats may be, as you look out over the decades,  
12 but also doing kind of a cost benefit analysis in terms  
13 of showing what are the different options that you can  
14 implement. So, credits to them for that.

15           With regards to water availability, we mentioned  
16 the northwest in terms of hydro power and the impact of  
17 greater amounts of precipitation falling as rain, rather  
18 than snow. And so, utilities like Seattle City Light,  
19 in this region that relies heavily on hydropower, are  
20 getting a better handle in terms of what do stream flow  
21 projections look like. How do they better manage the  
22 hydrology to ensure that they can maximize generation  
23 from hydropower.

24           An example here for Arizona Public Service.  
25 That, rather than using traditional fresh water has

1 shifted to using municipal wastewater for providing the  
2 cooling water for a nuclear power plant, one of the  
3 largest nuclear power plants in the world.

4 And energy in their work, in terms of  
5 concentrated solar power and using dry cooling  
6 technology to really reduce that water footprint.

7 A few more examples, in terms of frequency of  
8 wildfires. I think California sets the pace in terms of  
9 dealing with the wildfire issues, both in terms of the  
10 requirements set out by the Commission, as well as that  
11 being implemented and adopted by the utilities.

12 Some examples here of just the hardening of the  
13 infrastructure, better planning in terms of fire maps,  
14 et cetera, in terms of looking at that threat. So, a  
15 lot of work going on there that should be adopted  
16 elsewhere, as well.

17 And the rising sea level rise. Once again, with  
18 Super Storm Sandy, we have ConEd, Consolidated Edison.  
19 In that region, you know, 8 million folks without power  
20 for some period of time, cascading impacts across a  
21 number of sectors. ConEd is coming back with a multi-  
22 year, billion dollar strategy to harden the  
23 infrastructure.

24 Right now, they're in the process of addressing  
25 23 substations that were flooded in lower Manhattan,



1 raising those substations, making them basically flood  
2 proof, if you will. A lot of work going on with regards  
3 to that.

4           There's another example in New Jersey. The City  
5 of Hoboken is working with the Department of Energy,  
6 Sandia National Lab, and Public Service Electric & Gas  
7 to have one of the nation's first micro grid systems for  
8 a transportation system. So, you have hundreds of  
9 thousands of folks that are using this transportation  
10 system in New York, New Jersey. When the power goes  
11 out, the system crashes. And so, there's effort  
12 underway to create a micro grid, so that even if the  
13 power in the general region goes out, there would still  
14 be power to drive the mass transit system.

15           So, let me skip ahead here and talk about the  
16 final aspect of this, which is partnership. So, as I  
17 say, we're all in this together. There's a number of  
18 things the Department is doing. I'm going to talk more  
19 about this recent partnership that we established, but  
20 we have actions going on in terms of the Climate Action  
21 Champions.

22           San Francisco is one of those champions. There  
23 are other entities here, in California. But the Climate  
24 Action Champions really is an award program to those  
25 communities that are significantly invested in both

1 mitigation and adaptation, and to provide those  
2 communities with some additional assistance to help them  
3 serve as the nation's champions in that regard.

4           We're also doing work in terms of energy  
5 assurance planning with states, to help them improve the  
6 work that they're doing.

7           With regards to the partnership, we really  
8 wanted to move away from kind of the one-off workshops  
9 that are kind of done on a periodic basis across the  
10 country, and really have a sustained engagement, where  
11 we could work with a collective set of utilities. At  
12 least, initially, the utilities. We look to expand this  
13 to move into the oil and gas arena at some point. But  
14 right now, we're starting with the electric utilities.

15           And have a sustained conversation with them,  
16 with regards to a number of factors, including kind of  
17 sharing lessons learned. What are we doing and how are  
18 we doing that? How can we do it better?

19           Sharing information, I mentioned the Climate  
20 Resilience Tool Kit, making sure utilities are aware of  
21 the information that's out there that can be used, as  
22 well as they're aware of the information that they can  
23 share amongst themselves.

24           Looking at incentives and the barriers, and  
25 making sure that we can remove barriers that are out

1    there. But, equally important, provide incentives to  
2    making these investments in climate resilience. So, we  
3    want to examine that.

4               On the cost benefit side, clearly, you all have  
5    experienced the case where utilities are wanting to make  
6    these investments and the decision to pass these costs  
7    on to the ratepayers isn't always a hundred percent  
8    successful.

9               We want to better position everyone to have a  
10   more standardized methodology in terms of how we're  
11   doing this, so we can accelerate investments as we move  
12   forward.

13              Metrics, there really aren't any clear metrics.  
14   We'll talk about, all day, about having a more resilient  
15   energy system, but what do we mean by that? And what  
16   are the clear metrics that we can use?

17              We have metrics out there that are commonly  
18   adopted for reliability. On the resilient side, not so  
19   much. So, we need to do a much better job of defining  
20   what we mean by resilience? How are we going to measure  
21   progress as we move forward.

22              And I think, lastly on this slide, we also want  
23   to recognize, we want to use this partnership to  
24   recognize the leaders in the country, who recognize that  
25   climate change is a risk to the energy assets and are

1 taking actions to improve resilience.

2           Where are we now? The Vice President and  
3 Secretary Moniz announced this partnership back in  
4 April, as part of the Quadrennial Energy Review. The  
5 Secretary of Energy then had a meeting with the CEOs and  
6 senior management from all the partners. We're up to 17  
7 companies as founding members.

8           And is Southern California Edison here, in the  
9 audience? Great, we welcome our 18th member that has  
10 joined us this month. So, we are growing. And our goal  
11 is to continue that growth.

12           Even at 18, we represent, we have a pretty big  
13 footprint. So, 20 to 25 percent of the generation  
14 capacity in the country and in terms of the customers  
15 served in this country.

16           We have a broad array of the types of utilities  
17 that are represented here. And you can find your  
18 favorite utility up on the list. As a helpful hint, the  
19 ones in yellow are the ones that are from California.  
20 But we have them ranging from investor-owned, to  
21 federal, state and cooperatives out there. And,  
22 geographically, we cover quite a span of the U.S., but  
23 our goal is to grow that as we go.

24           Actions underway, we're continuing to conduct  
25 outreach. We're conducting a series of webinars,

1 workshops, conversations to maintain the sustained  
2 engagement.

3           There are two principal areas that I'll end on.  
4 Each partner, in joining the partnership, agrees to  
5 conduct a vulnerability assessment of their assets and  
6 develop a resilient strategy. Nine months for that goal  
7 line.

8           So, we're working with all these utilities to  
9 make sure they've got the tools they need, the guidance  
10 they need. And we'll come back at the end of that nine  
11 months to compare what we have, to look at those  
12 vulnerability assessments, identify opportunities for  
13 improvement.

14           The next phase of that, really, beyond the  
15 continuous improvement of doing vulnerability  
16 assessments, gets on to resilience strategies. Within  
17 18 months of joining the partnership, they need to put  
18 together a resilient strategy.

19           So, we are moving forward to look both at the  
20 implementation, as well as the planning aspect of this.

21           And I'll end on the cost benefit piece of this.  
22 As I mentioned earlier, it's important to get that  
23 right. We're in the business, right now, of trying to  
24 develop a general methodology that could be applied to  
25 look at coastal energy infrastructure, to be able to

1 accurately characterize potential damages and cost of  
2 climate change. As well as to look at the cost and  
3 benefits of resilience investments.

4 Our goal would be then to apply that methodology  
5 in a particular geographic region, and then disseminate  
6 that more broadly, as well as expand that to move beyond  
7 just threats, such as sea level rise, storm surge, and  
8 to look at other threats such as heat waves, and other  
9 climate-related risks that we have.

10 So, our goal is to try to come up with a more  
11 standardized, uniform methodology that could be adopted.  
12 Not as a requirement, as much as for helpful guidance to  
13 help bring some consistency in terms of the way we're  
14 doing business.

15 So, I'll end there. I might have gone  
16 significantly overtime. I apologize, if I did. But if  
17 there's any questions, be willing to take those.

18 CPUC COMMISSIONER RANDOLPH: Thank you very  
19 much. That was very interesting.

20 (Applause)

21 CPUC COMMISSIONER RANDOLPH: Ken, you had a  
22 question.

23 MR. ALEX: I have a quick question, which is  
24 does DOE consider generation and storage a resilience  
25 strategy? And, do you have any goals for increasing

1 those percentages?

2 DR. ZAMUDA: Yeah, so I'm trying to pull up a  
3 slide real quick. Traditionally, in the past, I think  
4 the majority of the work the Department of Energy's been  
5 doing, as others have been doing, has been focused on  
6 the mitigation side, the greenhouse gas emission  
7 reduction side.

8 The good news, and as you noted earlier in your  
9 comments, that there are co-benefits between the  
10 mitigation work and adaptation work.

11 And so, I've tried to put a slide up here that  
12 frames the world of mitigation and resilience, and shows  
13 that nexus between the two.

14 And so, things like enhanced energy efficiency,  
15 renewables, I'd say demand management, a lot of that  
16 work not only has benefits in terms of reducing  
17 greenhouse emissions, it has benefits with regards to  
18 building a more resilient energy system.

19 So the good news is we've been doing some of  
20 this work, already, as a nation. We haven't necessarily  
21 branded it as adaptation work. But we're moving forward  
22 to build upon that work that has been done.

23 So, there's certainly a role for demand  
24 management. Certainly a role for smart grid, automated  
25 switches to more readily identify where the outages

1 occur so they can be responded to and get those back  
2 online.

3           So, there's a lot of work, I think both in the  
4 energy efficiency side and the demand management side.  
5 And you see some examples that I alluded to, that we  
6 capture in the report. But those are certainly options.  
7 Not simple to deploy, it takes a cooperative working  
8 relationship between the supplier and the user. But  
9 there's certainly areas that we've seen success across  
10 the country and we want to build upon that.

11           I don't necessarily think we have any specific,  
12 defined goals, you know, quantitative goals out there  
13 today. But we should certainly be looking at how do we  
14 incentivize and accelerate the work that's going on.

15           CEC CHAIR WEISENMILLER: Yeah, a couple  
16 questions. One of them is, given the importance of  
17 hydro in the context of BPA, WAPA and the Bureau, is  
18 there any special focus on what climate change means for  
19 re-engineering our hydro systems?

20           DR. ZAMUDA: Yeah. So, Congress has asked for  
21 reports in terms of looking at hydropower, federal  
22 hydropower generation in this country. And the first  
23 report, which did not really look at climate projects,  
24 the first came out a year or so ago.

25           There is another report that should be issued



1   shortly, in the months ahead, that will factor in  
2   climate projections and what the implications are across  
3   the country for federal hydropower production, which is  
4   a pretty significant component of our hydropower  
5   production.

6           And in looking at that report, it will then also  
7   be looking at what are the options. I think, it  
8   wouldn't be a surprise to think that there are regions  
9   where, with climate projection, hydropower generation  
10   capacity is going to decrease. If not decrease on an  
11   annual basis, at least on a seasonal basis.

12           And so, the report will look at what some of  
13   those resilience options can be.

14           And if I could, just one moment on annual versus  
15   seasonal. I think it's important for us all to keep in  
16   mind that with regard to water, it's one of those things  
17   that you need 24/7, okay. And there are projections out  
18   there, I think previous speakers spoke to that in terms  
19   of annual precipitation for the country.

20           And for the northern regions, we're expecting  
21   that there will be an increase in average annual  
22   precipitation. In the southern regions, not so much.

23           But even in those northern regions, and  
24   recognizing the interconnectedness between California,  
25   and Washington, and Oregon with regards to hydropower,

1 it's important to keep in mind that even though the  
2 average annual precipitation may actually increase north  
3 of here, that all projections are basically suggesting  
4 that seasonally, summer precipitation will decrease.

5           So, you have this combined issue of less  
6 precipitation in summer. Significant amounts of that  
7 previously available snowpack now falling as rain, and  
8 not being available in summer. And you can start seeing  
9 what the implications are. Not throughout the year.  
10 Potentially, hydropower production in the winter may  
11 increase. But it's in summer where it looks that the  
12 peak demand is going to be and where the problem is  
13 really going to be an issue of supply and demand.

14           CEC CHAIR WEISENMILLER: Okay.

15           CPUC COMMISSIONER RANDOLPH: Oh, did you have  
16 another question?

17           CEC CHAIR WEISENMILLER: Just one last question  
18 from me, if you don't mind.

19           One of them is just in terms of we, the Energy  
20 Commission, has been very focused on climate change and  
21 the energy system, as have you. Is there anyone in the  
22 federal government that's looking more at the  
23 implications of climate change on like the  
24 telecommunications system, or the rail system, or water  
25 systems?

1 DR. ZAMUDA: Yeah. So, as I alluded to at the  
2 very beginning, that all the federal agencies are  
3 needing to look at their mission and look at the impacts  
4 of climate change, and assess those vulnerabilities and  
5 put in place resilient strategies.

6 So on transportation, we have the Department of  
7 Transportation who has that as an area of  
8 responsibility. They have done a number of reports,  
9 looking at different sections of the country, looking at  
10 the vulnerabilities of climate change to those sections  
11 and identifying kind of resilient strategies.

12 So, there's work going on throughout the federal  
13 government, sector by sector.

14 I think, perhaps, an area that is less  
15 emphasized today, and we're moving in that direction, is  
16 the holistic view of the world, right, and these  
17 interdependencies that exist across all of these  
18 sectors, and making sure that we haven't developed these  
19 resilient strategies kind of in isolated stovepipes, but  
20 have kind of looked at them from a holistic, community  
21 perspective.

22 I mean, that's what you're having to do at the  
23 state level, the local level. At the federal government  
24 level, quite often we get in these little stovepipes and  
25 do the responsible thing, but it's not from a holistic

1 perspective and we need to do more of that.

2 CPUC COMMISSIONER RANDOLPH: I found the  
3 discussion of the partnership for energy sector, climate  
4 resilience, particularly interesting. Do you currently  
5 have or do you anticipate a role for regulators around  
6 the nation to participate in those kinds of  
7 conversations?

8 DR. ZAMUDA: Thank you. So, as we've stood this  
9 up, our focus was, in terms of actual members, to be  
10 private sector companies. But we recognize that we need  
11 to broaden that conversation in some capacity to include  
12 regulators, for example. To include the Utility  
13 Commission, for example, and others.

14 So, we're trying to figure out what's the right  
15 roles and responsibilities. But let make the offer, as  
16 I'm wrapping up here, that we would encourage engagement  
17 with utility commissions, with the regulators. We need  
18 to have that conversation.

19 Even in the work that I referred to, in terms of  
20 developing methodologies to look at cost benefits, that  
21 shouldn't be done in isolation.

22 You all are in the position of making these  
23 decisions of whether these investments are going to move  
24 forward or not. You should be part of that conversation  
25 and we'd welcome the opportunity to engage with you.

1 CPUC COMMISSIONER RANDOLPH: Thank you. Any  
2 other questions?

3 Okay. Thank you very much.

4 DR. ZAMUDA: Okay, thank you.

5 MS. RALFF-DOUGLAS: Again, thanks very much for  
6 making your way out from D.C. for this.

7 (Applause)

8 MS. RALFF-DOUGLAS: Our next speaker is Dr.  
9 David Groves. He is the Co-Director of the RAND Water  
10 and Climate Resilience Center.

11 I just want to make a quick announcement that  
12 there are copies of the presentations on the back table,  
13 and they're also available on the web, so you'll be able  
14 to refer to those in the future.

15 DR. GROVES: All right, good morning. Thank you  
16 very much to the Commissioners and Kristin for inviting  
17 me here today. I'm really pleased to be here, to talk  
18 to you all. And I just realized I don't have my  
19 clicker. Does this go full screen or are we -- okay, I  
20 guess we're good.

21 So, let me just say a few remarks. So, to begin  
22 with, my role today is not really to tell you about why  
23 we must adapt to climate change. You know, Dan Cayan  
24 produced or provided plenty of evidence on that front.

25 And also, I'm not really here to talk about

1 adaptation strategies in the energy sector. You know,  
2 Craig motivated that well and, actually, a lot of the  
3 speakers that are following me will hit those in real  
4 detail.

5 But instead, what I'm here to talk about is  
6 methods for planning under climate change, you know,  
7 which we've developed over the years and we see  
8 increasingly being incorporated into plans. And I want  
9 to talk to you about these methods and how we've applied  
10 these in the water sector so it can provide a nice  
11 framework, I think, for some of the other talks that  
12 will be following.

13 And in particular, we're really talking about  
14 how to move from vulnerability assessments to adaptation  
15 planning and decision making. So, making specific  
16 decisions on specific investments, recognizing that  
17 these are costly and there are tradeoffs involved.

18 As I mentioned, my colleagues at RAND, and other  
19 research organizations across the globe, have been  
20 thinking about methods for planning under uncertainty  
21 for the last decade.

22 But, you know, research and practice really  
23 should go hand in hand. So I'm please to, you know,  
24 having skimmed some of the presentations that are  
25 following that, really, you know, we're seeing new

1 methods on how to plan for uncertainty really being  
2 incorporated into the art of practice for planning for  
3 climate adaptation.

4           So with that, let me dive into my presentation.  
5 I'm going to just try to highlight some key principles  
6 about how to plan under uncertainty, and then illustrate  
7 how we've applied this in the water planning sector,  
8 specifically with the Colorado River.

9           So just to provide motivation, which you all are  
10 very comfortable with, I'm sure -- or not uncomfortable  
11 with, but are aware of.

12           The uncertainty underlies all aspects of climate  
13 adaptation planning. And some of the big uncertainties  
14 are, well, how might the climate change? Is it going to  
15 get wetter? Is it going to get drier? How much hotter?  
16 How are extreme events going to be impacted? And we've  
17 got a lot of scientific information that provides  
18 indications of how these changes might occur, but  
19 there's still inherent uncertainties about it.

20           And how those uncertainties play out really  
21 could have a big impact on which types of adaptations  
22 make the most sense, are most cost effective, balance  
23 objectives most appropriately.

24           Climate change is also not operating and  
25 happening in a vacuum. We have climate changes

1 occurring on top of, of course, natural variability, as  
2 Dan Cayan mentioned in his talk, but also across all  
3 sorts of societal changes, demographic growth,  
4 technological innovations. And how all of these things  
5 come together is, in many cases, just as important as  
6 the climate change driver, itself.

7           So, I'm just saying how these things all  
8 interact together can be highly uncertain and very, very  
9 relevant to your decision at hand.

10           How do we -- you know, if we recognize that  
11 there's lots of ways the future can unfold over the  
12 coming years, how do we plan when we have this multitude  
13 of potential futures? We don't really know how likely  
14 any one future is.

15           And then, we also don't have a single goal in  
16 mind. You know, with energy planning we're certainly  
17 interested in keeping costs low, keeping reliability  
18 high, but we have all sorts of other considerations that  
19 are very important. And there's no one, single  
20 objective function out there that we can just put all  
21 our energy to and try to identify how do we best  
22 maximize that.

23           And then lastly, you know, it's cut off the  
24 screen here, but how do we support public dialogue over  
25 our different choices? You know, adaptation doesn't



1 happen in a vacuum. It's a public process. It requires  
2 the participation of many organizations, many people.  
3 Actually, everybody in fact. And so, you know, it's not  
4 going to be something that's going to come out of a  
5 study and a report that's going to sit there, and people  
6 are going to reference the report and say, oh, this is  
7 what I'm supposed to do.

8           It's going to come through dialogue, meetings  
9 like this, workshops like these in which the  
10 organizations and people understand what's at stake,  
11 understand their choices and then, you know,  
12 policymakers and regulators properly incentivize the  
13 right kinds of adaptations.

14           Okay. So, traditional decision methods are fine  
15 if we don't face much certainty. And, you know, this is  
16 just a -- it's a little hard to see, but basically what  
17 I'm just describing here is sort of a traditional way of  
18 thinking about making a decision.

19           You might think about what are the future  
20 conditions and then what's the best choice today, given  
21 some understanding of what we're going to face in the  
22 future. And then, there might be some sensitivity  
23 analysis.

24           I think most people in this room recognize that  
25 this is a good approach, really good for building

1 airplanes and things, where we have really good  
2 engineering data. And, you know, it's good when things  
3 are changing too fast, when we can predict what's going  
4 to happen, when there's not a lot of disagreement on  
5 outcomes.

6 But these kinds of approaches can really  
7 backfire when we have the potential to underestimate our  
8 uncertainties or we have differing groups of people that  
9 have different ideas on what's going to happen, or what  
10 could happen. And competing analyses could lead to  
11 gridlock.

12 And it's also problematic when we think we know  
13 what's going to happen, and we plan for it, and that may  
14 not be a very good strategy or solution for what  
15 eventually does come to happen.

16 Some of our recent climate-related disasters  
17 come to mind, you know, Katrina, Sandy, things like  
18 that.

19 So, as an alternative, which -- so an approach  
20 that I think is a bit more appropriate is we need to  
21 combine new methods, and then we also need to do that  
22 and bring that within a data-driven, participatory  
23 planning framework. So, I'll talk a little bit about  
24 each of these.

25 In terms of new methods, what we want to do is,

1 rather than predicting what's going to happen and coming  
2 up with a strategy, instead we want to understand what  
3 the vulnerabilities are to our leading strategies. And  
4 then look at ways to reduce those vulnerabilities,  
5 either through hedging action, so things that can -- I  
6 think things that can lead to better performance if bad  
7 outcomes occur, or shaping actions where we actually try  
8 to make sure that we end up with a future that's going  
9 to be favorable for, in this case, our energy system.

10           And so, this framing turns things around a  
11 little bit. It decreases the emphasis on predicting  
12 what's going to happen, characterizing the uncertainty  
13 precisely or statistically and, instead, into  
14 understanding what's vulnerable and what are the  
15 tradeoffs among different solutions.

16           And as I said before, you know, we see a lot of  
17 the talks and a lot of the conversation really shifting  
18 to this kind of thinking, so that's a really good thing.

19           This kind of analytical process needs to be  
20 supported by stakeholders and the participation of the  
21 decision makers that are to be benefitted by it. And,  
22 you know, increasingly, practitioners and researchers  
23 are turning to new analytical tools. It's much easier  
24 to make interactive visualizations that can help people  
25 engage with the research.

1           And we've found, and I'm certain many in this  
2 room have found, that that can be a really compelling  
3 way to bring people around and understand what the key  
4 tradeoffs are, and help forge a decision.

5           So this approach, by our group, has been applied  
6 across the globe and many other groups, probably all the  
7 other blank spaces. But I want to just highlight that,  
8 you know, I'm drawing from work that we've done across  
9 the U.S., and Northern and Southern California, on the  
10 East Coast, as well as some international work,  
11 supported by either the international government or the  
12 World Bank, all looking at sort of climate adaptation.  
13 You know, what are the climate vulnerabilities and what  
14 are different adaptation strategies that can reduce that  
15 vulnerability.

16           And we have more information about this work on  
17 our Center website.

18           So, yeah, we've implemented this and worked in  
19 many different settings. What I want to talk today  
20 about is a setting in the water sector. But, of course,  
21 the water and energy are linked. And part of this study  
22 looked at the energy implications of climate impacts on  
23 the Colorado River. And I won't talk about that  
24 specifically, in detail. But, obviously, I will put  
25 that that's study's out there and many of you are

1 probably very familiar with it.

2           So, what I want to talk about is the Colorado  
3 River Basin Study, which was released in 2012. And it  
4 used, you know, these approaches that I'm talking about  
5 to look at climate vulnerability and evaluate different  
6 adaptation options and strategies.

7           And just -- I'm sorry, my fonts are all  
8 overlapping here. Just a bit of review, provides water  
9 for 40 million people, seven states, billions of dollars  
10 of economic activity.

11           We have, you know, the Upper Basin, we have the  
12 Lower Basin and there's a complex set of rules that  
13 govern how water is managed across those two basins.  
14 There's lots of -- you know, we've got hydropower, a  
15 tremendous amount of hydropower on the system. It also  
16 supports, obviously, tremendous natural resources. I  
17 think here I'm citing 24 national parks, wildlife  
18 refuges and recreational areas.

19           Some key facilities on the Basin, which are very  
20 good indicators for the condition of the Basin and can  
21 be used as ways to monitor the health of the Basin, are  
22 Lake Powell and Lee Ferry. So, Lee Ferry is an area  
23 where you can measure the flow from the Upper Basin to  
24 the Lower Basin. And Lake Powell is the large, upper  
25 reservoir. And then, Lake Mead and Hoover Dam, outside

1 of Las Vegas, is a good indicator -- the elevation of  
2 that is a good indicator for the health of the system in  
3 terms of supplies available to the Lower Basin states.

4 And, you know, as many of you probably know,  
5 right now Lake Mead is very, very near its historical  
6 low point, and which is dangerously close to a level  
7 that would trigger shortages to some of the states, some  
8 of the seven states.

9 So, we have challenges right now. But we also,  
10 when you start looking out in the future we have growing  
11 challenges. And this is a graphic that we used, you  
12 know the study produced, to help contextualize the  
13 challenge.

14 So, this is a time series of water use in red,  
15 and supply in blue. And you see, over time, the gap  
16 between the available supply and the demand is  
17 diminishing. And then, as you go out into the future,  
18 the projected water demand exceeds the range of  
19 projected water supply. And this is a fundamental  
20 challenge and suggests that something needs to be done  
21 to address this.

22 And this is driven both by climate change, which  
23 I'll talk about in a second, and also changes on in  
24 terms of the water needs by the Basin users.

25 So, we turned to -- yeah, so we turned to an

1 approach that we call robust decision making to help  
2 sort through what could happen on the Colorado River,  
3 and sort through all of the different types of options,  
4 and come up with a robust strategy to move forward.

5 This is sort of one way that we like to talk  
6 about this. This is not going to seem completely  
7 foreign to many of you, and certainly planners in the  
8 room. We start with a decision structuring step. I'll  
9 talk a little bit about that.

10 But based on that decision structuring, we  
11 develop hypotheses for what the future could look like.  
12 We develop large numbers of futures, and what you might  
13 think of as scenarios, under the case generation step.

14 Then we do an analysis of what we've learned  
15 from looking at all those different cases to understand,  
16 well, what are the key drivers to vulnerability. That  
17 can motivate new options. And after you do successive  
18 iterations, you can ultimately end up with a tradeoff  
19 analysis, looking at how different groups of options  
20 perform across those large ensembles of futures, and  
21 that helps identify robust strategies.

22 So, let me just talk through this methodology  
23 with the Colorado River Basin Study, as an example, and  
24 then I'll be done.

25 So, one of the things we like to do in the

1   scoping exercise is really spend some time  
2   distinguishing between things that are out of our  
3   control and things that, potentially, are within our  
4   control. And we use a framework we call XLRM, to  
5   organize our thinking.

6           The way to look at this, briefly, is in the  
7   upper left, these are the factors that are the  
8   uncertainties. These are the things that are generally  
9   outside of our control that we're trying to prepare for.  
10   And so, this study developed six demand scenarios,  
11   coupled with four of what they called supply scenarios.  
12   But, really, those were made up of over a thousand  
13   different potential sequences of hydrologic flows that  
14   were derived from many of those global climate models  
15   that Dan Cayan introduced earlier, this morning.

16           We also looked at a couple of different ways we  
17   might operate the system.

18           So, that's the future, that's the uncertain  
19   future that we're trying to prepare for. There's a lot  
20   of -- you look at, you know, the potential water  
21   supply/demand imbalance across all those futures and you  
22   get a huge range.

23           So then, how are we trying to meet those gaps?  
24   Well, we looked at 40 different options to reduce  
25   demand, or augment supply, and we came up with a process



1 to combine those into different portfolios so we could  
2 evaluate how robust they were.

3 In terms of how we evaluated the performance of  
4 these options and strategies across these futures, we  
5 had quite a bit set of performance metrics. I'm just  
6 going to focus on a few related to water supply and  
7 demand. But we did look at electric power and energy  
8 metrics, recreation, ecology, et cetera.

9 And the basis of the analytical work was the  
10 Bureau of Reclamation's Colorado River Simulation  
11 System.

12 So, we looked at the case generation. We  
13 developed thousands of scenarios and evaluated the  
14 system under those scenarios to understand what's the  
15 scope of the problem and then analyze for  
16 vulnerabilities.

17 Okay, so the vulnerability analysis, what is  
18 that? Well, it's looking at all the outcomes and  
19 saying, well, what are the key drivers? Is it  
20 population demand? Is it single dry years? Is it  
21 multiple dry years? Is it temperature?

22 And through this analysis, we identified, you  
23 know, there's a wide range of outcomes. And what this  
24 is showing is each dot here is a single simulation of  
25 the system, under a single set of plausible conditions.

1           Anything that's red is one where we have a  
2 vulnerability in the Upper Basin, so that the amount of  
3 flow that's flowing between the Upper Basin and the  
4 Lower Basin is insufficient and would trigger shortages.

5           We're showing these results in terms of two key  
6 parameters that seem to explain a lot of the  
7 vulnerability. And they're not unsurprising, but what  
8 we've done is been able to identify the thresholds. And  
9 those are, you know, sort of the mean annual flow  
10 through Lee Ferry, so from the Upper Basin to the Lower  
11 Basin. And then, a determination of how long the  
12 critical -- or how deep the droughts are in those time  
13 series.

14           And what we find is that for the Upper Basin we  
15 really need -- we're looking at the conditions that  
16 stress the Upper Basin portion of the system are  
17 conditions that are drier than have been in the past,  
18 both in terms of the mean and in terms of the depth of  
19 the dry period.

20           But there are a lot of plausible conditions  
21 where we have, you know, essentially compact calls. So,  
22 there's insufficient water going from the Upper Basin to  
23 the Lower Basin, which causes significant curtailment in  
24 the Upper Basin.

25           In the Lower Basin side, we have results that

1 are even more dire, which shouldn't be that surprising,  
2 given the state of Lake Mead right now.

3 In this case, we have conditions which only have  
4 to be slightly drier than have been in historical. And  
5 you can see many, a vast -- you know, almost about half  
6 of the cases we looked at, we're seeing conditions where  
7 Lake Mead is dropping to a dangerously low level and  
8 triggering shortages.

9 So, what this information tells us is, okay, we  
10 have a problem and lots of potential futures. We kind  
11 of understand the key drivers. Now, let's begin to  
12 piece together solutions.

13 And so, this involves the iteration back up to  
14 the decision-structuring stage, where we start thinking  
15 about, okay, what are some ways to close this gap, and  
16 then we can begin to understand the tradeoffs among  
17 them.

18 So, we developed a procedure, you know, the  
19 study team developed a procedure to combine quantitative  
20 analysis with stakeholder expert judgment and  
21 preferences to think about what pieces of water  
22 management strategies can we put together to create a  
23 comprehensive solution?

24 And so, it involved looking at a wide range of  
25 options, then doing some preliminary analysis of cost

1 and yield. Then, putting that together in a decision  
2 support tool in which the stakeholders could talk about  
3 different kinds of strategies they wanted to test out,  
4 and then the tool would help identify the most cost  
5 effective ones within that set.

6 And through that, we developed four different  
7 portfolios of strategies. And, actually, in subsequent  
8 work we've done some workshops where we've actually  
9 developed many more, using other computing facilities to  
10 help us test more.

11 And so, from this set of strategies we can then  
12 understand, okay, well, how do these perform in reducing  
13 resilience and then how do they compare.

14 All right, so what we do is we evaluated all of  
15 these different strategies. I'm just going to go  
16 through, quickly, some of the key results here.

17 One of the things we see, when we look at all  
18 four of these portfolios in terms of Upper Basin  
19 vulnerability, that's the panel on the left, and Lower  
20 Basin vulnerability, that's the panel on the right,  
21 we've characterized those futures that we determined  
22 that were really stressing.

23 And we said, okay, in those stressing futures,  
24 you know, for instance the declining supply is a  
25 stressing future for the Upper Basin, and the low,

1 historical supply is the distressing condition for the  
2 Lower Basin. We say, well, how do these different  
3 portfolios perform in terms of total annual cost along  
4 the X axis and percentage of the years that remain  
5 vulnerable across all of those futures.

6 And we begin to identify that, you know,  
7 portfolio C, in which we're focusing more on transfers  
8 and less on specific investments in the Lower Basin,  
9 they tend to perform better in the Upper Basin. And,  
10 specifically, portfolio B performs better in the Lower  
11 Basin.

12 But one of the things you can see is there's a  
13 lot of cost involved and these tradeoffs are  
14 significant. You know, the differences between one  
15 portfolio and another portfolio can be the difference  
16 between 7 billion a year and 3 and a half billion a  
17 year.

18 So, these are big, big decisions. Now, we're  
19 recognizing that we're not going to go and do \$7 billion  
20 a year of investment tomorrow. So, the analysis looked  
21 at, well, what constitutes, you know, a robust set of  
22 near term options today?

23 And so, we're looking across -- so this graphic,  
24 it's got a lot of information on it, but the patterns  
25 are what's important here. And what's shown here is a

1 list of all these different options that we analyzed.  
2 And the simulations told us how frequently they were  
3 needed in any given simulation. And this is telling us  
4 how often those options are implemented in order to  
5 reduce that supply and demand imbalance.

6 And so, what we see is options on the top tend  
7 to get implemented sooner in the simulation. And by the  
8 time you get to 2060, at the end of the study period,  
9 they're implemented in every future. Even those futures  
10 where it's rainier, or those futures where it's not  
11 quite so dry or hot, you still implement them.

12 And so, these are options that we know we're  
13 going to need to take. Any option where it has really  
14 dark red, on the right-hand side, so these are things  
15 like ag conservation, M&I conservation, some groundwater  
16 projects, watershed management. Those are projects that  
17 need to happen, they need to happen soon and can  
18 really -- and the Basin and the Bureau recognizes those  
19 as sort of keystone, you know, strategies to begin  
20 implementing, now.

21 Then when you get down, further down on the  
22 list, when you start thinking about some of the de-sal,  
23 you know, some of the further increments of  
24 conservation, in many cases they're really needed, but  
25 in other cases they're not.

1           And this -- I mean, this clearly identifies why  
2   it's so important to develop these strategies in an  
3   adaptive way.

4           So, this kind of information has, you know, from  
5   the study, led to the creation of additional working  
6   groups, where they've looked at -- well, they're looking  
7   at and they're just finalizing their recommendations on  
8   ag conservation and transfers, M&I, and watershed  
9   management.

10          So to wrap up, what that kind of analysis helped  
11   us do is hone in on what we need to do now. Even though  
12   we didn't come to any conclusion on how the climate's  
13   going to change, or which demand projection is the one  
14   that's most likely, what we did come to is an agreement  
15   that this set of actions is critical, now. And then, we  
16   need to keep working towards figuring out ways to reduce  
17   vulnerability that's going to continue to persist.

18          So, this is just a picture of the reclamation  
19   publication and some of the key benefits of using this  
20   kind of methodology and this planning approach. So,  
21   helped organize stakeholder values and opinions on the  
22   topic, identify key uncertainties, structure the design  
23   of adaptive strategies, and then highlighted some of the  
24   key tradeoffs and identified near term actions.

25          We have a couple of reports that you might find

1 interesting, where we show some of the tools that we  
2 developed, and hone in a little bit more on the  
3 methodology. And that's all available on the RAND  
4 website.

5 And with that, I think I will conclude and maybe  
6 I can borrow a few minutes for questions, if there are  
7 any. And here's the source of -- or our website, if you  
8 want more information.

9 So, thanks very much for your attention.

10 (Applause)

11 CPUC COMMISSIONER RANDOLPH: Thank you, very  
12 much. Do we have any questions? Okay, thank you.

13 DR. GROVES: All right, thank you.

14 CPUC COMMISSIONER RANDOLPH: Okay, we're up for  
15 our next panel before our lunch break. Kristin.

16 MS. RALFF-DOUGLAS: Thank you. We've asked  
17 everybody to come here and talk about very big topics  
18 and given them a very short period of time to talk about  
19 them, and I apologize for that.

20 Our next speaker is Kathleen Ave. She is the  
21 Climate Program Manager at SMUD. And so without further  
22 ado --

23 MS. AVE: Thank you very much. Good morning,  
24 everyone. Thank you very much for having me on this  
25 really great agenda. I know that at some point here,



1 every word I say will start to sound like sandwich, so  
2 I'll try to move it along and get you what you need.

3 So, I guess, I'm the practitioner for the  
4 morning. Kristin asked me to talk about how we're using  
5 our readiness work to support the community that we  
6 serve and integrate more with the community. So, that's  
7 what I'm going to be talking to you about today.

8 I'll just give you a little background on our  
9 readiness effort, although I'm not going to get into  
10 details about what it says in terms of the findings, the  
11 physical findings. But, rather, again, how we're using  
12 it as part of regional and industry collaboration and  
13 our own Climate Readiness Collaborative in Sacramento.

14 I'll talk to you a little bit about some example  
15 projects and funding needs, if we have time.

16 But before I start in any of that, I wanted to  
17 make a really clear statement that we believe that our  
18 work in climate readiness in no way diminishes our  
19 commitment and support for our mitigation efforts. Our  
20 overall intent to, and continued commitment, to reducing  
21 our greenhouse gas emissions.

22 Our board target is to be at 10 percent of our  
23 1990 levels by 2050. This shows you that trajectory.  
24 You know, climate readiness is an additional element of  
25 what it means to be a leader in climate, as a utility.

1 It is not a giving up or giving in, just an important  
2 additional focus area.

3 So, moving on, because there a lot of ways that  
4 we could do this -- if this would work. Whoops, that's  
5 too many.

6 Anyway, so this image, thank you, this is what  
7 we don't want to happen as a result of our climate  
8 readiness work. There are a lot of ways that we could  
9 do this and there are dollars that we will spend. We  
10 could spend them on hardening our own infrastructure and  
11 we are. You know, lots of spending on elevating things,  
12 just general strengthening to be prepared for more peak  
13 loads, more extreme events.

14 But if we don't move our community along with  
15 us, then we have no one to serve power to in the event  
16 of some of these major events.

17 So, this is definitely not our objective. The  
18 other part of that is that as we harden, that type of  
19 work can have some really severe unintended  
20 consequences. We harden ourselves and we could end up  
21 inundating some of our neighbors, and that's not what we  
22 want.

23 I got this image when I Googled the words  
24 "island unto themselves". And it came from a video  
25 game. And it was reviewed by this gentleman, Daniel

1   Neville, who's from Australia. And the words that he  
2   used to describe this, I thought were particularly  
3   relevant.

4           "The way I lost my health over time, that I  
5   became weaker with each battle, made me rely more on my  
6   sill than any silly piece of armor or potion. The  
7   leveling up" -- a videogame term -- "must come from  
8   within the player. Skill is not a matter of more loot,  
9   but of patience and smarts."

10           I thought that was very relevant. I take a  
11   little issue with the loot part. We'll talk about that  
12   later because I think we do need more. But we also need  
13   to spend what we have more effectively, with a little  
14   different lens. And we'll come back to those three  
15   items, patience, smarts and loots in a moment.

16           And then the final point on this is that this  
17   work really is different than our emergency response and  
18   disaster relief type work. We have a great emergency  
19   response planning department and Jeff Briggs, who runs  
20   it, would be the first one to tell you that that work is  
21   generally focused on short-term needs. They don't look  
22   out very far for infrastructure planning. So, that's  
23   really what this work addresses.

24           Okay, so what have we done in the past? This  
25   work, for SMUD, started back in 2009, when we were

1 working on implementing AB 32, or planning to implement  
2 it. We did a chapter on the physical risk of the  
3 climate change that we expect, not just in our service  
4 territory, but all the places where we generate power  
5 and through which we transmit it.

6 And then, we began working very closely with our  
7 community. We assisted with the development of county  
8 wide greenhouse gas emissions inventory, and then some  
9 cost benefit analysis on mitigation measures.

10 And then, in 2013, our board approved our  
11 climate readiness strategy. And so now, the findings  
12 and climate changes, physical changes are tracked as one  
13 of our enterprise risks, along with all sorts of other  
14 strategic, and external risks, and financial risks.

15 And we use this document in all of our long-term  
16 planning efforts. That's anything that looks out over  
17 five years.

18 They also agreed that we needed to conduct  
19 additional R&D in areas that were more uncertain than  
20 others. Wind is one of those, as well as wildfire. And  
21 then, they also directed us to participate in our  
22 Community Collaborative, and to update this scientific  
23 work on a four-year update cycle, which we'll be doing  
24 starting again next year.

25 And so, we call it our readiness strategy. And

1 I wanted to include this slide so that we could talk a  
2 little bit about this, why readiness?

3 It turns out that adaptation is not a term that  
4 is very well understood by the general public.

5 Resilience isn't, either. And this is the research that  
6 we used to draw that conclusion, a study that was done  
7 by ecoAmerica, with other partners.

8 At the time we were doing our work, the State  
9 was apparently considering preparedness and readiness,  
10 and we went with readiness. And then, they went with  
11 safeguarding California, so you can't win.

12 But this is important for any entity that deals  
13 with the public and has to help the public understand  
14 what this all is. They need to -- it needs to be clear.  
15 So, we felt this was important enough to rename our  
16 work. And we'll kind of try to stay in tune with that,  
17 as things go.

18 Preparedness, apparently, was the one that  
19 tested the best. Non-resilience, even though a lot of  
20 things you're hearing today do use that word, this was a  
21 set of focus groups and then a survey, and resilience  
22 didn't even make it out of the focus groups. You know,  
23 it's a beautiful word, but people don't understand it.

24 So moving on, why do we prepare? It's to assist  
25 our workforce and our community of customer owners, for

1 all the changes in climate and weather that are -- some  
2 of which are already happening, and to enable us to  
3 manage those risks and help prevent unnecessary risks.

4           Okay, so we are in the middle of a major  
5 transition. At SMUD, it feels like everything is  
6 changing today. And this is not just our  
7 infrastructure, it's our business as a whole.

8           There are some big changes happening, we call it  
9 SMUD 3.0, or the idea of customer value creation. Our  
10 CEO, Arlen Orchard, convened a Community Value Working  
11 Group to really understand what it means to deliver  
12 value to the community.

13           Our sales force is undergoing a major change in  
14 how they approach their customers.

15           And then, as you all know, we're in the midst of  
16 a major transformation in the energy markets. And so,  
17 we are working really hard to prepare for that. All of  
18 the initiatives listed below, our Sustainable Power  
19 Supply Objective, RPS, our energy efficiency work,  
20 electric vehicles, especially our Distributed Energy  
21 Resource strategy, really, really key to that.

22           Our board has made a decision, they do not want  
23 to be a poles and wires company. They want to be a full  
24 service energy provider. And that will entail the  
25 development and the use of a lot of new, emerging

1 technology, all of which is a great opportunity to  
2 insert this awareness of climate readiness and affect  
3 that capital spending so that it helps to get us farther  
4 down the field.

5           So, I talk to engineers. I talk to folks in our  
6 distribution group. I talk to folks in our budget  
7 office, our treasury office. This is not just about  
8 what's in the field, but planning for it and planning  
9 for the dollars for it.

10           And we also got this data, I just wanted to  
11 share this, from our community partners, as part of that  
12 Community Value Working Group.

13           We do have a great reputation in the community,  
14 but there are opportunities to improve that. And a lot  
15 of our customers say that they would like to -- that  
16 their needs are not just always related to energy and  
17 electricity, and in order to serve them better we should  
18 be addressing those things. And then, also, that their  
19 needs are dynamic and unique. And I think that's just  
20 going to continue to change as the climate changes.

21           So, moving on to how we can do this more  
22 effectively on a community basis. This is a map of the  
23 participants in an event that was sponsored by the  
24 Institute for Sustainable Communities, back in October.  
25 And so, there were collaboratives that attended from all

1 over the country. And California, as you can see, was  
2 well represented. There are five organized  
3 collaboratives here, in California. I think Louise is  
4 going to talk a little bit more about these. And they  
5 had representatives there.

6 They're very diverse in terms of how they're  
7 governed, the issues that they address. Most of them  
8 have a research component, a policy component,  
9 education, outreach and advocacy. But they really do  
10 reflect the needs of their own communities.

11 And I will say, and I'm not saying this to toot  
12 SMUD's horn, that I was the only representative from a  
13 utility at this event. And I don't like that because  
14 they gang up on us when there's only one.

15 But these are emerging, now. There's a lot of  
16 momentum behind this regional organization. And they  
17 are emerging as important venues for planning. And if  
18 utilities aren't at the table, you know, that creates  
19 obstacles for us.

20 There are also really big opportunities, like I  
21 said, to help bring the communities along and ensure  
22 that we're not the only ones doing this work. So, these  
23 are really important.

24 This next slide, Craig showed you this. This is  
25 the map of the DOE partnership, of which we are a part.



1 And below it is a map from the Healthcare Climate  
2 Council. And so this, I was struck by how similar these  
3 are. This is organized by a group called Healthcare  
4 Without Harm. And these are really important allies for  
5 us in the public health aspects of the work that we're  
6 doing.

7 And they could potentially be sources of funding  
8 because nonprofit healthcare systems have community  
9 benefit funding streams, similar to public goods  
10 dollars. And now that Obamacare is in place, I've been  
11 told, I'm not an expert in this, but I've been told that  
12 those dollars could be available for things like cool  
13 roofs, and energy efficiency, and things like that. So,  
14 really natural partners to pull into community level  
15 work.

16 So, this is a view of the Climate Readiness  
17 Collaborative in Sacramento, the Capitol Region Climate  
18 Readiness Collaborative. It was spearheaded by Larry  
19 Green, who's the head of the Air Quality Management  
20 District in Sacramento. He runs on renewable energy,  
21 for sure. He's a very energetic guy.

22 And he worked with the Local Government  
23 Commission, Kate Meis and Amber Mace from the UC Davis  
24 Policy Institute, and Julia Burrows at the time, from  
25 Valley Vision. They were kind of the keys to

1 spearheading this.

2           And you can see the membership is pretty  
3 diverse. We joined very quickly. PG&E has also been  
4 involved. And we're in the process, now, of signing up  
5 local jurisdictions and reaching out more to the private  
6 sector, as well as the healthcare sector, to expand the  
7 membership.

8           And these are the goals of this organization,  
9 protect and strengthen the region, build a network for  
10 cooperation. Really, a foundation for doing cooperative  
11 work to understand the interplay between all the  
12 different sectors and really help all the members  
13 identify funding opportunities that we could seek.

14           These are some of the projects that we are  
15 doing. Valley Vision spearheaded this Capital Region  
16 Business Resiliency Initiative. It's targeted at small  
17 businesses.

18           They did a study on the impacts to the water  
19 sector. We're just about to launch, I'm hopeful, a kick  
20 start in our Cool Roof Incentive Program, a doubling of  
21 the incentives and some targeted outreach to try to get  
22 the cool roof industry going in Sacramento.

23           And then, there are civic spark assignments  
24 throughout the region that have been sponsored by the  
25 collaborative.

1           So, the region really -- this is a forum for the  
2 region to answer questions like this together, as  
3 opposed to just in isolation. What are the best  
4 practices for addressing climate challenges? How will  
5 we deal with storms that are going to be increasingly  
6 frequent? How should we plan for growth and  
7 development? You know, what is the value of different  
8 types of infrastructure?

9           And this one is interesting considering, you  
10 know, what Craig said about the difficulty in assessment  
11 benefits and then what David said about all the  
12 uncertainties. The community really has to define what  
13 does success look like?

14           Are we talking about just coping with these  
15 conditions and new, extreme events? Are we talking  
16 about building protection? Are we talking about  
17 building more capacity to bounce back from these events?  
18 Or are we talking about trying to expand our definition  
19 of health and vitality in a community?

20           Lots of different possibilities there. And the  
21 idea is that at some point, and I stole this material  
22 from Suzanne Moser at Stanford, the idea that, you know,  
23 over time your options will evolve. You know, in the  
24 beginning, this is the case of sea level rise. You may  
25 enforce certain setbacks. At some point you may build a

1 sea wall. At some point you may build a higher sea  
2 wall. And then, at some point, you may engage in  
3 managed or unmanaged retreat in some continuum.

4 And so, how will the public interpret that, you  
5 know, when the investment that was made in that initial  
6 sea wall fails? Will they turn around and say, well,  
7 you should have done XYZ? It's going to be really  
8 important for us to explain why we did what we did and,  
9 you know, decide what the right pathway is.

10 So, getting into the idea of collaboration  
11 across sectoral lines, I like this quote from Geoff  
12 Colvin. He spoke at the recent American Public Power  
13 Association national conference.

14 "Organizational culture is what people do when  
15 no one tells them what to do."

16 And in most cases for us, those of us who work  
17 in utilities, we work in our little silos. And this  
18 kind of cross-sectoral collaboration is really not the  
19 norm. It happens, but it's not the norm for us. And  
20 so, projects that utilize it really do feel like heavy  
21 lifting.

22 This is an example of some of the ones that  
23 we've done at SMUD. This is a co-digestion facility  
24 that was built at the wastewater treatment plant. We  
25 have a long history of collaboration with them. We buy

1 biogas from them, they sell us steam -- or vice-versa,  
2 sorry.

3           The project down -- well, up above the AB 32  
4 water and energy assessment, we used some of our  
5 greenhouse gas auction revenue to fund a study with the  
6 Regional Water Authority. Great collaboration there to  
7 identify the embedded energy in our water supply, which  
8 is about a megawatt hour per million gallons, just FYI.  
9 And that doesn't include wastewater.

10           The project below was a collaboration with  
11 Caltrans to attempt to build PB and CPB on the highway  
12 right of way. That one didn't happen, although it was a  
13 great learning experience for this one, which we're  
14 working on right now, in collaboration with a couple of  
15 private partners, and the U.S. Bureau of Reclamation to  
16 suspend a PV system over a canal and, potentially, over  
17 a fish hatchery to allow for the hatching to occur. All  
18 of the fish have been relocated from the ones here in  
19 Sacramento, this summer, because of the drought and  
20 heat.

21           So, these do happen and they are opportunities  
22 to leverage our capital investments to achieve kind of  
23 broader community resilience goals.

24           A couple more examples, I know I'm running out  
25 of time. This is an example from Refocused Partners. I

1 love this example because it was very deliberately  
2 constructed to address multiple needs within the  
3 Community of Hoboken.

4           So, it's a parking garage, but it also functions  
5 as stormwater storage and green space. Up on top is a  
6 park and then there's three levels of parking. And then  
7 in the bottom is a retention basin. So, it addresses  
8 kind of three major needs for that tightly-constrained  
9 community.

10           Refocus Partners undertook this reinvest  
11 project, worked in eight different communities around  
12 the country, with McArthur funding -- or, excuse me,  
13 Rockefeller funding.

14           And the report from that work is very, very  
15 interesting for anybody who is looking for ideas for  
16 collaborative projects.

17           A couple more. The one on the left is a water  
18 purification system. It's a demonstration at a museum  
19 so not, you know, hardcore infrastructure opportunity.  
20 But I liked it because it talks about how infrastructure  
21 that has previously been hidden could even be made  
22 beautiful, and interesting, and place-making.

23           And I think as we begin to move down the path of  
24 distributed energy resources, and getting more of our  
25 generation back into the communities, we're going to

1 have to be very aware of how that's perceived and make  
2 some design decisions around it that we really haven't  
3 had to make, when we have places these central, large  
4 facilities far away from the population.

5           Okay, so to funding. The little teeter-totter  
6 there has some World Bank data, an estimate that it will  
7 cost \$70 to \$100 billion per year to adapt to a warmer  
8 world, that two degrees of warming. And that  
9 governments have pledged \$10 billion to date. So, we  
10 definitely have a mismatch.

11           And we know that mobilizing private capital is  
12 really critical. But there's not a lot of good  
13 understanding about these distributed and network  
14 solutions, so that's going to be a challenge.

15           But the fact that you can pull together multiple  
16 benefits in some of these projects can generate multiple  
17 revenue streams. That parking structure project, I  
18 mentioned, got money from the Stormwater Authority, they  
19 got parks developer fees, as well as just the input from  
20 the private developer. So, those are good  
21 opportunities.

22           And then the notion that co-benefits and the  
23 avoidance of risk could be monetized is an option that  
24 is also getting some attention these days.

25           But this is a challenge because as a State,

1 right now, this kind of is a map that I stole from Local  
2 Government Commission. And it shows some of the  
3 different splintering of the funding streams that are  
4 available for cap and trade funding.

5 And so, it's really difficult for a community to  
6 develop integrated solutions when the funding streams  
7 are, themselves, very dis-integrated. So, definitely  
8 more kind of consolidation and more thinking and  
9 development at a State level about how those funds are  
10 brought out into the community will allow them to be  
11 used more effectively. Not just for mitigation, but  
12 also for adaptation, because those solutions really do  
13 have to stretch across sectors in order to really be  
14 robust preparedness or readiness solutions.

15 So, we need, back to the smarts, and patience  
16 and loot, definitely expanded utility participation in  
17 these regional climate collaboratives.

18 I think in most cases, in California, I think  
19 Southern California Edison and SoCalGas, and I know San  
20 Diego Gas & Electric have been involved in the  
21 collaboratives in their regions in some way, shape or  
22 form. That's definitely a trend that should continue.

23 We definitely also need new models for that  
24 interagency collaboration that address our shared risks  
25 and common customer benefits to get us out of that



1 siloed mode of doing business.

2           We do need patience because there are  
3 significant learning curves when you do that. When you  
4 work outside of your own silo, you have to learn a whole  
5 new language and that's tough. And it does involve a  
6 culture shift beyond just a focus on energy.

7           And then, we need the recognition that failure  
8 will happen. You know, either with a project that  
9 wasn't quite ripe, like the Solar Highways Project, or  
10 just as the climate continues to change your first  
11 iteration of addressing a risk may not be your last one.

12           And then, finally, related to loot, coordinated  
13 funding sources that incentivize this collaboration  
14 across regions. New funding streams and financing  
15 options, again, I mentioned the monetization of risk  
16 avoidance, but also the national capital movement holds  
17 some potential there in terms of monetizing ecosystem  
18 services. All of which should help us mobilize more  
19 private capital for distributed and network solutions  
20 that really are a key to increasing our readiness.

21           And I think that's all I had. What time is it?  
22 Oh, not bad, sandwich time.

23           (Applause)

24           MS. AVE: Any questions?

25           CPUC COMMISSIONER RANDOLPH: Thank you very

1 much. Do you have any questions?

2 CEC CHAIR WEISENMILLER: Yeah, how much does  
3 SMUD spend on planning for readiness and how much does  
4 it invest in addressing those issues?

5 MS. AVE: So, that's a slightly difficult  
6 question for me to answer because a lot of our spending  
7 so far has been pretty integrated in the operations. We  
8 spent under \$100,000 on our initial readiness strategy,  
9 on gathering all of the data and doing the analysis for  
10 that.

11 And then, we've spent probably on the order of  
12 that much more in our wildfire or vegetation management,  
13 as well as in our distribution world around flood  
14 preparedness, analysis of those risks.

15 But again, in part of my spending time with our  
16 budget offices, trying to intersect capital spending  
17 that we're already doing, I'm inserting myself in places  
18 where, you know, they haven't set out the welcome mat  
19 for me, necessarily. But that's the best way, I think,  
20 you know, rather than going out and asking for new  
21 money, just making sure that the new money that we are  
22 planning to spend considers these impacts and can be  
23 modified, slightly, to address them.

24 So, I don't expect a big readiness budget. I  
25 expect big readiness action to be worked into our

1 existing budget, with some additional augmentation.  
2 We're going to identify, you know, new research that we  
3 need to do around the area of wind, in particular, which  
4 is a big risk for us. Despite what Dan Cayan said, I  
5 think, you know, there is the possibility it could  
6 improve our wind resource.

7           There's also the possibility that it could still  
8 the Delta breeze, which will have a big impact on SMUD.

9           So, and there are other areas, too, where we're  
10 going to need more resource to perform more research.

11           CPUC COMMISSIONER RANDOLPH: Any other  
12 questions?

13           Okay, so we are going to be taking a lunch break  
14 and we will return at one o'clock for our afternoon  
15 speakers. Thank you.

16           (Off the record at 11:56 a.m.)

17           (On the record at 1:01 p.m.)

18           MS. ZAFAR: Okay, we're going to get started, if  
19 people could take a seat, please.

20           My name is Marzia Zafar. I am the Director of  
21 our Policy and Planning Division.

22           First, I would like to thank, again, Kristin  
23 Ralff-Douglass and Guido Franco for organizing this  
24 event.

25           This afternoon, we will have two panel

1 discussions, followed by public comment and closing  
2 remarks. We're going to try to free everyone up by five  
3 o'clock.

4 The first panel, which I will moderate, is a  
5 window to the ongoing research to identify the current  
6 and future impacts of climate change.

7 We have five panelists. I thought we had four  
8 and we were going to have 15 minutes each, but Guido  
9 informed me that there was some negotiation. So, here's  
10 the timing. And I am somewhat anal, so we're going to  
11 stick with the time. Guido has 18 minutes, somehow.  
12 And then we have Dr. Bedsworth with 14, Scott Flint with  
13 14, and then 7, 7. And as Guido said, I will -- I'm  
14 going to time you guys. At two minutes, I'll just make  
15 a mention of the two minutes, so then we can have a 15-  
16 minute Q&A session with the dais.

17 Our first presenter is Dr. Louise Bedsworth,  
18 Deputy Director of the Governor's Office of Planning and  
19 Research. Dr. Bedsworth will give us an overview of  
20 California's adaptation efforts.

21 Dr. Bedsworth, you have 14 minutes and counting.

22 DR. BEDSWORTH: Great. Well, thank you very  
23 much for inviting me here today. And I will look at my  
24 watch so I keep track of my 14 minutes.

25 I'm very excited to participate in this event.

1 And I will just provide an overview of what we've been  
2 doing at the State on adaptation very generally, really  
3 stemming from the Executive Order, but also the work  
4 that that builds on.

5 And then talk about some of the concrete  
6 examples of work we've been doing on the ground, as  
7 well.

8 Okay, so I think as we've already talked about  
9 quite a bit, but I think it's important to reiterate, is  
10 that adaptation, resilience, readiness, preparedness,  
11 safeguarding, all of the words we use is part of a  
12 comprehensive approach to climate change in California.

13 And this is really built on three interdependent  
14 pillars. One is our efforts to reduce emissions through  
15 AB 32, and now the Executive Order for our 2030 and 2050  
16 goals, which ties to our work to prepare for the impacts  
17 of climate change that we're already experiencing. And  
18 all of this is really built on a basis of comprehensive  
19 research that is informing our policies. And that our  
20 policy needs are informing our research.

21 And so, I think these are all three very  
22 important pieces that can't really be separated from one  
23 another, nor should they be.

24 So, Executive Order B-30-15 established our 2030  
25 greenhouse emission reduction target, as well as

1 reiterated our 2050 goal. But it also laid out a very  
2 comprehensive set of steps for adaptation and resilience  
3 in California. And, of course, that's what we'll focus  
4 on here, today.

5           And I would say, I would argue that this is  
6 actually one of the most comprehensive -- has the  
7 potential to be one of the most comprehensive adaptation  
8 and resilience frameworks in the country, if not the  
9 world, if we look at all the pieces that we're talking  
10 about implementing.

11           The first pertains to safeguarding California.  
12 The Executive Order also says that all State agencies  
13 should consider climate change impacts in all planning  
14 and investment. It calls out the five-year  
15 infrastructure plan, in particular.

16           And then it calls on our office, the Governor's  
17 Office of Planning and Research, to form a technical  
18 advisory group to assist State agencies in implementing  
19 this Executive Order.

20           This Executive Order also, very importantly,  
21 brings in that third piece of our comprehensive climate  
22 policy and reaffirms the State's commitment to research  
23 to support these efforts.

24           So, I'll walk through the different piece of the  
25 Executive Order. Well, just a little bit of a delay and

1 then I got it confused. There we go.

2 So, of course, this is the first piece, which is  
3 the greenhouse gas emission reduction goals. We have  
4 our AB 32 goal, our 2030 goal to get 40 percent below  
5 1990 levels by 2030, and to get 80 percent below 1990  
6 levels by 2050.

7 So, this is the path of emission reductions that  
8 we're talking about. And, of course, the important  
9 message here is it's a much steeper decline over the  
10 coming decades.

11 So, when we look at the adaptation pieces, one  
12 of the first elements that the Executive Order calls out  
13 is the Safeguarding California Plan. And this is  
14 California's adaptation strategy.

15 California was the first state to develop a  
16 comprehensive climate adaptation strategy in the nation,  
17 and this is in 2009, with the California Adaptation  
18 Strategy. This 2014 update, Safeguarding California,  
19 came out last summer and was the first comprehensive  
20 update to that plan.

21 The Executive Order calls for this now to go  
22 from a plan into an implementation or action, more move  
23 from the planning to the implementation and action. So,  
24 implementation plans are to be developed and this should  
25 be 2015, by September of 2015, so this coming September.

1 Every sector in this plan is going to have an  
2 implementation plan. Talk about what they've done to  
3 date and then steps they are taking to further implement  
4 what is called out in Safeguarding California.

5 The Executive Order also calls for Safeguarding  
6 California to be updated every three years. And to  
7 identify -- in doing that update, to identify  
8 vulnerabilities by sector, which is how the report is  
9 currently organized, in to nine sectors, but also by  
10 region.

11 And I think this is an important alignment with  
12 the regional work that is happening, that Kathleen  
13 talked about earlier.

14 And this work is all being led by the California  
15 Natural Resources Agency and, in particular, J.R. Della  
16 Rosa, who's sitting right there. And so, a lot of work  
17 is happening now.

18 And then, next spring, there will be tracking --  
19 the sectors will be reporting on tracking their progress  
20 back to the Resources Agency.

21 So, another piece of the Executive Order calls  
22 out the five-year infrastructure plan. And the five-  
23 year infrastructure plan is developed by the Department  
24 of Finance and accompanies each year, or most years, and  
25 it has the last several years, the State budget.



1           And so, the Executive Order says that the five-  
2 year infrastructure plan needs to consider current and  
3 future climate conditions when evaluating and  
4 considering infrastructure investments.

5           The Executive Order also calls for the  
6 employment of full lifecycle cost accounting in making  
7 infrastructure planning decisions.

8           The work on the five-year infrastructure plan is  
9 being led by the Strategic Growth Council, in  
10 partnership with the Department of Finance, and taking  
11 an incremental approach to work with State agencies to  
12 develop statements of how their decision-making  
13 framework reflects the priorities of the Executive  
14 Order, and then moving forward to get into more  
15 comprehensive implementation of the consideration of  
16 future climate conditions.

17           We're really exploring, in terms of full  
18 lifecycle cost accounting, getting a better  
19 understanding of what does that look like? How does  
20 that align with current accounting practices? And how  
21 are we going to implement that?

22           So, some of these will come not all at once, but  
23 more incrementally.

24           The third piece that I'll talk about here is the  
25 technical advisory group. And so, OPR has been tasked

1 with developing a technical advisory group to assist  
2 State agencies in implementing the Executive Order. We  
3 have formed a small State agency steering committee,  
4 which has got close alignment with the sector leads for  
5 the Safeguarding Implementation Plan, to help scope out  
6 what the work of this technical advisory group will look  
7 like.

8           What we've been thinking about is defining,  
9 adding more definition to elements of the Executive  
10 Order. So, what is meant by planning and investment?  
11 What are the opportunities there and how shall we  
12 prioritize them? Providing guidance on elements, such  
13 as full lifecycle cost accounting.

14           Also, providing guidance on the analytical  
15 framework for thinking about climate change and also  
16 thinking about what we should be planning for. So, what  
17 are the future conditions we need to be thinking about?

18           And so, that work is ongoing and we will be  
19 forming the technical advisory group either later this  
20 summer or in the early fall. And it will include both  
21 members of the State, but also members from local  
22 government, from the private sector, and from the  
23 public. And so, the idea is to form a representative  
24 group that is really going to work together to form  
25 guidance that State agencies can use to think about how

1 to implement the Executive Order.

2           The Executive Order also reiterated the State's  
3 principles for adaptation, and these were contained in  
4 the Safeguarding California Plan, as well. And I think  
5 they are important to just emphasize, because they do  
6 guide a lot of the work that we're doing.

7           And so, it puts the priority on actions that  
8 both reduce greenhouse gas emissions, but also help  
9 build resilience and preparedness. So, thinking about  
10 the strategies that we can use that help us integrate  
11 across mitigation and adaptation to the best that we  
12 can.

13           Obviously, we're not going to be able to do this  
14 in every case. But the idea is let's take advantage of  
15 opportunities, where we can. And I think there are some  
16 good examples in the energy sector, such as energy  
17 efficiency, water efficiency, where we do -- we are able  
18 to get some of those double benefits.

19           To use flexible approaches so that we can be  
20 adaptive in light of uncertainty and change. So, how do  
21 we be flexible, while also providing some degree of  
22 certainty in the guidance that we provide?

23           Protecting the most vulnerable in California.  
24 So, the most vulnerable citizens, both in terms of  
25 location, but also very importantly, I think, in terms

1 of socioeconomic and other vulnerabilities that make  
2 people less able to prepare and cope with change.

3 And, finally, to prioritize natural  
4 infrastructure solutions. And so, this is using, where  
5 we can, natural systems and ecosystem services to try to  
6 address some of our challenges, either on their own or  
7 in combination with hard infrastructure.

8 And so, that's really a lot of the elements of  
9 the Executive Order. And I'll just cover, in the last  
10 minute or two here, a couple of things that are  
11 happening on the ground, in the work that we're doing,  
12 that I think are really helpful opportunities for  
13 implementing some of these pieces.

14 First is a lot of the work that we have been  
15 doing with local and regional governments throughout  
16 California.

17 Kathleen mentioned earlier, the Capitol Area  
18 Resilience Collaborative. And they are part of a larger  
19 collaboration of regional resilience collaboratives  
20 around California. So, California has five regional  
21 collaboratives that have formed, focused on adaptation  
22 and resilience. In the Bay Area, Los Angeles, San  
23 Diego, Sacramento, and most recently in the Sierra  
24 Nevada Region.

25 And so this collaborative has been an excellent

1 resource for us, as we work with local partners, to see  
2 the challenges that they're facing, the needs that they  
3 have, but then also how that integrates with the work  
4 that we're doing at the State.

5 We've also developed Civic Spark, which is the  
6 Governor's initiative under the AmeriCorps Program,  
7 which is centered around nine regional hubs throughout  
8 California that place AmeriCorps members into  
9 communities to help them do planning around climate  
10 change, both mitigation and adaptation.

11 This has been a really successful program, run  
12 through the Local Government Commission. And it has  
13 just been announced, about a week or two ago, that the  
14 national government, the Obama Administration, is going  
15 to replicate this program for resilience throughout a  
16 set of pilot communities in the United States.

17 So, this has been a very successful program.  
18 And then one that we're looking to integrate more into  
19 the resilience work that we're doing at the State level,  
20 to help it get from the State down into practice at the  
21 local level.

22 I'll also mention, at OPR we are developing a  
23 new, updated set of general plan guidelines for all  
24 cities and counties in California. It's the first  
25 comprehensive update since 2003. And through this,

1 we're integrating principles of climate change and  
2 climate, both mitigation and adaptation, throughout that  
3 entire set of guidelines. So, again, trying to provide  
4 guidance to local governments to implement this work.

5           And, finally, I'll just mention, briefly, work  
6 we're doing through the U.S. Department of Housing and  
7 Urban Development's National Disaster Resilience  
8 Competition, which is a \$1 billion competition for  
9 resilient recovery following a federally-declared  
10 disaster.

11           The State is working with federal and local  
12 partners to develop a program for resilient recovery in  
13 Tuolumne County, following the RIM fire. And what we  
14 are working around is developing a community and  
15 watershed resilience program.

16           And so, this is really trying to link State  
17 goals for watershed protection, both for water supply,  
18 but also for energy needs with local community  
19 resilience, both through local economic development and  
20 investment in communities to boost their resilience  
21 through infrastructure and other resources.

22           And so, this has been, so far, a State, local,  
23 federal and private partnership to try to identify the  
24 pieces to put together to develop this program in  
25 Tuolumne County, that we hope will be replicable

1 throughout the Sierra Nevada, and all watershed  
2 communities in California. And we've even been talking,  
3 now, about some other states about, potentially, more  
4 western-wide applications.

5 This is work that we will be submitting our  
6 final proposal to HUD in late October, so it's still in  
7 the development stages. But one we're also really  
8 looking to integrate that watershed resilience into our  
9 broader statewide goals and build out our urban and  
10 rural connectivity issues, and the importance of a  
11 systematic approach to resilience in those watersheds.

12 And so with that, I will pass it over.

13 MS. ZAFAR: So, you have your choice of sitting  
14 there or coming here.

15 Next, we have Guido Franco from the CEC. Guido  
16 is the Team Lead for Climate Change in our Environmental  
17 Research, in the Energy Commission's Research Division.  
18 Guido, you have 18 minutes.

19 MR. FRANCO: Thank you. So, I'm going to talk  
20 about research and climate change, and adaptation.  
21 First of all, I want to thank for the opportunity to  
22 give this presentation.

23 I'm going to start with some background  
24 information, then I'm going to give some examples of  
25 mitigation -- I'm sorry, about potential impacts and

1 adaptation options. Then, I will briefly describe some  
2 forthcoming studies, and then I will conclude.

3           Okay. Supporting any of related climate change  
4 research, the Energy Commission started working on  
5 climate change in 1988. But we started in earnest to  
6 support research in the early 2000s, with the creation  
7 of the Public Interest Energy Research Program.

8           The vast majority of the studies that have been  
9 done for California in the energy sector come from the  
10 PIER Program. The PIER Program, as you may know, have  
11 ended. But now, we have the EPIC Program. So, we're  
12 starting to support any related research on climate  
13 change to the EPIC Program.

14           We also receive funding for the PIER Natural Gas  
15 program and we have funding to start looking at  
16 potential impacts of climate change to the natural gas  
17 system.

18           CPUC has been a key player in all of our work.  
19 As you know, the funding for example, where the EPIC  
20 Program comes from the CPUC. We have been blessed to  
21 have, as a partner, the CPUC working with us.

22           One thing that is not indicated here is the fact  
23 that we used to have annual conferences on climate  
24 change. They were very popular, very useful. A new set  
25 of climate conferences is going to start this year,



1 August 23rd and 24th. So, we invite all of you to come  
2 to Sacramento. I think you're going to find it  
3 worthwhile to attend.

4           So, let's start with some examples of potential  
5 adaptations, some impacts. So, let's start with  
6 hydropower units. In general, we divide hydropower  
7 units in California in two sets of -- or two types of  
8 hydropower units. One is associated with large  
9 reservoirs, like Folsom Dam. And these low elevation  
10 hydropower units provide about 25 percent of the  
11 hydroelectric generation generated in California.

12           But their main function is not to provide  
13 electricity. They are designed for flow protection, for  
14 water supply and for recreation. Electricity in the  
15 nation is the secondary benefit that we get from them.

16           We have funded multiple studies on this. I'm  
17 just going to mention the latest one was the developing  
18 of an assistant that we call INFORM, that utilizes a  
19 modern decision support system with a probabilistic  
20 hydrologic forecast to help us manage our water  
21 reservoirs.

22           It has been used in a demonstration stage  
23 showing it's far superior with the way we manage our  
24 water reservoirs in California.

25           And we have used the INFORM system with climates

1 and that is to see how well the system will also help us  
2 with climate change. And the result is that it will  
3 also be useful under the climate change.

4           One of the problems with the implementation with  
5 INFORM, however, is that there are multiple actors,  
6 federal and state, different institutions that it's very  
7 difficult to implement a system like that. There are  
8 also some laws that may prevent the implementation of  
9 this way to manage -- this modern way to manage  
10 reservoirs.

11           But I just find out a few weeks ago, that the  
12 Department of Water Resources are thinking about  
13 implementing a methodology like this.

14           So, the second set of hydropower units are what  
15 we call the high elevation units. They provide about 75  
16 percent of the electricity. The snowpack is the main  
17 reservoir. They are also associated with some more  
18 reservoirs.

19           We have, again, four to five studies looking at  
20 high elevation hydropower units. One of them is shown  
21 in the upper right. It's work done by UC Davis. And  
22 they show that even if the precipitation doesn't change,  
23 because we're going to have increasing transpiration, I  
24 mean the transfer of water from soils and plants to the  
25 atmosphere, that it will be a reduction of the stream

1 flows. So, precipitation is a bad indicator of the  
2 availability of water and stream flows, in general.

3 One thing that it wasn't surprising for me, a  
4 study done in the Upper American River Project, by UC  
5 Berkeley, is the fact that there will be a lot of  
6 spillage in the wintertime. But something that nobody  
7 has looked is the implication of the spillage into the  
8 operation of low elevation hydropower units, because  
9 they are interconnected. So, that's something that we  
10 plan to study in the future.

11 One of the things that has made the work less  
12 useful has been the lack of detailed information about  
13 the hydropower units. I mean, they essentially have  
14 used whatever is available in the public domain. But  
15 there's certain information that is only available to --  
16 only the utilities have.

17 So, now, let's look at electricity at high  
18 temperatures. I think this theme has been mentioned  
19 already, so I just we'll say we're did an exercise, via  
20 LBNL, where we superimposed the climate of the future to  
21 the infrastructure of the present. And we find out that  
22 if we have a climate feature this summer, for example,  
23 that we will have needed increase of capacity in the  
24 order of 30 or 40 percent, generation capacity because  
25 of all the problems associated with increased demand,

1 insufficiency in thermal power plants, et cetera, et  
2 cetera.

3           And even in the next 10 years, the 2013 IEPR,  
4 the Integrated Energy Policy Report, looked at what  
5 climate change -- what will be the effect of climate  
6 change in the next 10 years. And the result is that  
7 we'll need an increase in capacity of 1.6 gigawatts.  
8 That's two big power plants that will be needed in the  
9 next 10 years.

10           Now, let's look at electricity demand in the  
11 residential sector. I mean, we have been fortunate that  
12 utilities share confidential household information data,  
13 electricity bills, with UC Berkeley.

14           Professor Auffhammer used that data to  
15 electricity demand at the five number code level, zip  
16 code level -- so the research have been identified, the  
17 groups that will be disproportionately impacted and also  
18 long-term impacts. I mean, I just was reviewing a paper  
19 that Professor Auffhammer is publishing. He has used  
20 like half a billion, yeah, half a billion datasets to  
21 develop this -- to estimate potential impacts.

22           Demand for space heating. We have not done very  
23 much about this, but we should. In part because we also  
24 want to know, quantify the benefits in this case of  
25 climate change cool days are going down in the last -- I

1 mean, the last 40 years, since 1960, 45 years. You  
2 know, cool days have gone down by 15 percent in the  
3 Sacramento -- in the San Joaquin Valley. That's a huge  
4 amount.

5 But what is surprising for us is when we asked  
6 people what would happen, with the Scripps Institution  
7 of Oceanography, what will happen with extreme events,  
8 the cold nights, will they disappear? The answer is no,  
9 they will be less frequent, but they still will be  
10 present in the future.

11 The 2014 data point is shown then and it shows  
12 that it's very unusual, extremely warm winter.

13 Wildfires and transmission lines. We funded a  
14 project looking at how wildfires will change in the  
15 future and then we asked LBNL to superimpose to that the  
16 information about -- GIS information about the  
17 transmission lines to estimate the increment of risk.

18 This was done just with that information. We  
19 would have loved to have data from the utilities,  
20 historical data linking wildfires with great  
21 disturbances. I mean, we wanted to develop empirical  
22 statistical relationships that will help us develop  
23 better estimation of potential impacts of increased risk  
24 of wildfires to the transmission lines.

25 That was impossible but, I mean, we understand

1    why.  I mean, I think the utilities were -- there was a  
2    lawsuit against the utilities and we understand that it  
3    would be a difficult situation to share information.

4               Coastal impacts, we -- I mean, the Pacific  
5    Institute started a study for us and published in 2009,  
6    looking at what energy infrastructures will be affected  
7    by sea level rise.  In this case we have substations.

8               But one of the problems that we realized later  
9    on is that the GIS data in the public domain may not be  
10   correct.  Sometimes it's off by 200 meters, 300 meters  
11   or more.  In part, the reason for that is for security  
12   reasons.  We don't want to give the exact location of  
13   our infrastructures in the publicly available GIS.  So,  
14   this is an issue.

15              Sea level rise, well, okay, we have -- now,  
16   let's switch a little bit, the topic, and let's move  
17   from electricity to natural gas, kind of.

18              In the Delta, in the Sacramento/San Joaquin  
19   Delta, we have very important energy infrastructures.  
20   We have underground natural gas reservoirs, we have  
21   transmission lines, natural gas pipelines, et cetera, et  
22   cetera.  And so, it's important to look at the potential  
23   impacts of climate change, in this case sea level rise,  
24   to the energy infrastructure in the Delta.  One reason  
25   is that the interior deltas are below sea level.

1           So, there's a report coming out from UC  
2 Berkeley, that will be available in the next few months.  
3 They use a dynamic, hydronomic model, very sophisticated  
4 type of analysis. So, the report is coming out in the  
5 near future. You will find it very interesting.

6           So, and so sea level rise is a problem. But we  
7 also asked Professor Brooks, at that time at the  
8 University of Hawaii, now in USGS Menlo Park, to measure  
9 subsidence of the levies in the Delta. The levies that  
10 protect the islands in the Delta. And using InSar data,  
11 satellite data, he found out that the levies are also  
12 subsiding. So, they say they're all subsiding in the  
13 entire Delta region.

14           This compounds the problem of sea level rise.  
15 Sea level rise is going up, the levies are going down,  
16 so the relative sea level rise is moving at a faster  
17 rate than just sea level rise, alone.

18           But satellite data are not accurate enough.  
19 Well, we shouldn't say they are not accurate enough.  
20 People doubt, sometimes, the use of the satellite, or as  
21 we say, WEC, the available portable LIDAR data, because  
22 we don't have enough money to fly aircraft all the time.  
23 The use of LIDAR.

24           So, he did it. So, now, he's using the portable  
25 LIDAR to measure very frequently, several times a year,

1 the levies that are protecting the energy infrastructure  
2 in the Delta. So, but we'll have a better idea of how  
3 fast the levies -- I mean, what geographical pattern the  
4 levies are subsiding.

5           Adaptation opportunities. So, I think for  
6 adaptation opportunities, we have started with win/win  
7 opportunities. So, I talked about the INFORM project.  
8 We have a new project that we selected with the  
9 competitive solicitation. It's a project with UC  
10 Riverside and NASA. Southern California Edison is  
11 working very closely with that group.

12           So, what UC Riverside and NASA are going to do  
13 is to use a modern -- to make a model to simulate how,  
14 to estimate in a probabilistic sense, the changing  
15 hydrological conditions. That information will be fed  
16 to a system support system, developed for SCE, to find  
17 ways to improve the management of their hydropower  
18 units.

19           One important thing about this project is that  
20 they are considering the role that the small particles  
21 in the air have on precipitation. I will talk about  
22 that later on.

23           The other win/win study is micro grids. They  
24 reduce -- they can reduce the vulnerability of critical  
25 infrastructure. One example is the Borrego Spring.



1 They just had in May, two months ago, May 2015, a  
2 lightening damage to a transmission line. They have to  
3 shut down the transmission line for maintenance, for ten  
4 hours. The Town of Borrego Spring, I think didn't care  
5 because they have energy, they have electricity. I  
6 think only for ten minutes that there was the need to  
7 reconnect to the grid.

8 Another type of adaptation study that we're  
9 funding is seasonal and decadal forecast, whereby the  
10 researchers that we have funded have shown that we're  
11 able to predict, in a probabilistic sense, again  
12 everything is probabilistic, the temperatures in the  
13 next summer. So, four or five months ago we can  
14 predict, in a probabilistic sense, the distribution of  
15 temperature in the summer.

16 So, we think there are huge benefits, including  
17 the issue of the Delta breeze. We don't have time to  
18 talk about that, but it's an important issue and  
19 significant progress has been made on that.

20 What we found out with this is that if we just  
21 work with technical people, the work will not be used.  
22 We need to reach out to people that can decide and say  
23 just do it. If not, we'll have fun, but it's not going  
24 to be used.

25 We're also using Cal-Adapt, and Susan is going

1 to talk more about that, as the way that we're using to  
2 translate our research results, including the seasonal  
3 forecast, to electricity -- to electric utilities and  
4 all those.

5           Okay, so let me talk about a topic that I love.  
6 It's the role of small particles on precipitation. So,  
7 in 2004, I was told small particles in the air would not  
8 have an effect in California. It was a famous  
9 professor. I say, I don't believe you, so we started  
10 funding some research. To make it sure, we found out  
11 that aerosol has a huge impact on precipitation levels  
12 in California.

13           We funded a study, CalWater 1, that had one  
14 researcher graph, several instruments going around,  
15 measuring the particles in the water, and the droplets,  
16 and in the ice. And we thought that only emissions from  
17 California will affect precipitation in California.  
18 Well, actually find out that dust and bacteria flying  
19 all the way from Asia and Africa seed our clouds.

20           This is important for utilities, also, because  
21 if the clouds are already seeding by dust, you don't  
22 need to seed it. I mean, don't waste your money, they  
23 are already seeded.

24           But it's also important because the seeds  
25 have -- I mean, the ice particles have a huge influence,

1 not only in the amount of precipitation, if you have the  
2 dust coming aloft, the precipitation can be 40 percent  
3 more than normally. But also in the form of  
4 precipitation. The ice seeds produce snow, instead of  
5 rain.

6 So, the work resulted in a paper in science, a  
7 backbreaking study. It's so backbreaking that the  
8 federal agency decided to do it again. And five  
9 research aircraft, multi-million dollars, the research  
10 results are forthcoming.

11 Transformation of the energy system, the  
12 Chairman told us use the -- at least that's my  
13 understanding, that look at the transition to a low  
14 carbon energy system as an opportunity to also develop a  
15 system that is less vulnerable to climate change. So,  
16 we're working on that. That's a project that's just  
17 started with three major research institutes in  
18 California, and we will be doing that. So, basically,  
19 we're combining mitigation and adaptation.

20 Planned studies, the California Fourth Climate  
21 Change Assessment is forthcoming. I think I don't have  
22 time but, well, you know about that.

23 Partial list of studies, let me see -- well, we  
24 will have studies on all of these topics, so thank you  
25 very much.

1 (Applause)

2 MS. ZAFAR: Thank you so much, Guido.

3 Next, we have Scott Flint, also from the  
4 California Energy Commission. He will be discussing the  
5 Desert Renewable Energy and Conservation Plan, 14  
6 minutes.

7 MR. FLINT: Thank you. So, I wanted to switch  
8 gears just a bit and talk a little bit about planning  
9 and implementation of a plan related to siting renewable  
10 energy in the desert portion of California.

11 So the example today is the Desert Renewable  
12 Energy Conservation Plan, or what is known as the DRECP.  
13 This is a four-agency effort that was co-led by the  
14 California Energy Commission and the U.S. Bureau of Land  
15 Management to plan for energy in the desert. And we  
16 were also joined by our partner agencies, the California  
17 Department of Fish and Wildlife, and the U.S. Fish and  
18 Wildlife Service.

19 So, overall, the plan does two things. It helps  
20 California -- well, it helps California and the nation  
21 implement renewable energy and greenhouse gas reduction  
22 goals by doing two things.

23 One, helping guide and plan, as a climate  
24 mitigation strategy, the rollout and deployment of large  
25 amounts of renewable energy within the State. And at

1 the same time, implement a biodiversity-oriented  
2 landscape conservation strategy, which also helps  
3 achieve other California goals of sensitive species, and  
4 wildlife, and biodiversity protection.

5 So, it's both a mitigation strategy and an  
6 adaptation strategy, and both of these strategies are  
7 important to manage into the future from a climate  
8 change perspective.

9 I want to back up just a second. Just to give  
10 you a brief overview, you'll see this on several maps.  
11 We were talking about the planning area was 22 and a  
12 half million acres, the entire desert area of  
13 California, and a little bit more. And I just wanted to  
14 orient you so you can see where you are. You're in the  
15 eastern part of the southern part of the State on future  
16 maps. About 22 million acres. Ten million acres of  
17 that owned by the Bureau of Land Management. So,  
18 indeed, that's why they were such an important planning  
19 partner.

20 So to do this effort, what did we have to do?  
21 Looking out on the conservation side, from developing a  
22 plan-wide conservation footprint that took into account  
23 natural communities, sensitive species, and ecosystem  
24 functions to protect those on the landscape.

25 On the energy side, identifying areas of lower

1 conservation value or biological value that would  
2 facilitate and be appropriate for development to ease  
3 our permitting and siting capabilities and be able to  
4 move fast to get the projects on the ground.

5 Those tend to be the already disturbed areas,  
6 outside of the areas important for conservation.

7 And we also had to identify -- in that case, we  
8 had to identify areas that had appropriate renewable  
9 energy resources, both high value wind and high value  
10 solar, and were near the -- at least near or able to  
11 bridge to the existing transmission system. So, those  
12 were important considerations for the development side.

13 So, the DRECP, the Desert Renewable Energy  
14 Conservation Plan, took those two footprints, the  
15 conservation footprint and the plan-wide energy  
16 development footprint, and put them together into a  
17 plan.

18 That plan was released in -- the draft was  
19 released in September of 2014. After extensive public  
20 comments, the DRECP is now going forward in two phases.  
21 The current phase, going through the end of this year,  
22 will be the completion of a land use plan amendment, by  
23 BLM, to lay out the development areas on federal, BLM-  
24 owned lands, and the conservation areas.

25 At the same time, the CEC and the wildlife

1 agencies continue to work with the counties and other  
2 local agencies, who are doing comprehensive general  
3 planning with some grants from the Energy Commission, to  
4 look at elements for both renewable energy and  
5 transmission and conservation.

6           So, we're now spending a little time on the  
7 private land side, working with the counties to  
8 incorporate their general planning.

9           So, one of the key features in the strategy and  
10 something that implements, for this area, one of the  
11 goals of Safeguarding California, is a comprehensive  
12 linkage and connectivity design in the desert. Well,  
13 that's a key feature of this plan on the conservation  
14 side. It also follows basic tenets of conservation  
15 biology, where you look for large areas of intact  
16 landscapes, natural landscapes, and then make sure you  
17 connect them with appropriate habitat. So that species  
18 that have lived in and move through corridors between  
19 their various habitat areas.

20           So, since we've published the draft, a recent  
21 paper, published in *BioScience*, of March 2015, has  
22 recognized the climate adaptation benefits of the  
23 DRECP's linkage design.

24           And they site three points. One is by having  
25 this comprehensive, overall network of connectivity, we

1 are avoiding significant uncertainties in the modeling  
2 by identifying all potential corridors and assembling  
3 them into a coherent design.

4           Secondly, the corridors link what are existing  
5 habitats today, what are likely to be habitats in the  
6 future under different climate scenarios.

7           And, thirdly, this blended approach should work  
8 under a wide variety of climate futures.

9           So, it's no surprise that it worked out that way  
10 because one of the things we did was look at some  
11 climate modeling. We looked at the latest climate  
12 modeling from the IPCC modeling in 2013-2014, and worked  
13 with the Conservation Biology Institute to examine that  
14 modeling and then do some additional modeling for us in  
15 the DRECP area.

16           And we did this to ensure that we were selecting  
17 the right lands that would be resilient in the face of  
18 climate change for those species.

19           So, we ran 20 different models or looked at 20  
20 different models. And then we picked three models, a  
21 wetter one, a drier one, and a kind of in between one to  
22 look at and examine, further, in the DRECP effort,  
23 because we were looking at a wide variety of different  
24 futures. One wet, one dry, and something that looked  
25 like, everyone agreed, was on a trajectory that was



1   agreed -- agreed upon by a subset of the existing  
2   modelers.

3           So, in doing this, we generated about 450  
4   datasets, just for the 20 climate models. And those are  
5   available on Data Basin, which is an existing and  
6   operating data platform that Conservation Biology  
7   Institute has developed over time, so that houses the  
8   data.

9           And in just picking the three models to focus in  
10   on, with additional modeling for the DRECP area, we took  
11   those models and worked with some additional vegetation  
12   response modeling. We worked with fire modeling. And  
13   we worked with -- and we worked with fire modeling. And  
14   we worked, primarily, with those two to look at the  
15   effects that fire might have on managing these lands  
16   into the future, and also how vegetation may cycle.

17           And then, of course, potential for invasive  
18   species issues to become worse in the desert areas.  
19   Those will be long-term management issues to address in  
20   ensuring conservation is in place going forward.

21           So, in those three models we have 150 datasets.  
22   So, we got it down from 450 to 150, but it's still a lot  
23   and it's hard for folks to understand what we're doing,  
24   and how those models work.

25           And part of this planning effort is

1 communicating to the general public what is the data  
2 behind the plan, what's driving our decisions about  
3 identifying certain areas as necessary for conservation  
4 or available for development, and being able to  
5 communicate that to the average system, and decision  
6 makers at all levels of government. And, to some more  
7 sophisticated stakeholders. So, that's been quite a  
8 challenge.

9           So, throwing all the data up there and saying,  
10 hey, go for it, isn't quite the best way to do that.

11           This isn't the right set of slides. Sorry, I  
12 was going to show you this live, but because of  
13 technical difficulties, limitations of the room, not of  
14 the Climate Console, I'm not going to be able to show it  
15 to you live today.

16           But to better show, allow people to access that  
17 data and see what's going on with that data, and support  
18 decisions, and then for practitioners, as myself, and  
19 other agency folks to develop different scenarios and  
20 show the public how we made those decisions, we  
21 developed this DRECP Climate Console.

22           So, you're seeing that slide here on your  
23 screen. So, I know it's hard to see and it's not  
24 interactive, so it's not going to be as fun as I  
25 planned, but we'll do it anyway.

1           We have here, on the right there -- on the left  
2 side of the screen we have your map of the DRECP area.  
3 We're zoomed into that, now. And what you'll see there  
4 is you have several different ways, when you go in the  
5 console you can pick different sets of different  
6 divisions or subdivisions to look at the data.

7           So you would see, on the left side you can pick  
8 watersheds, you can pick the ecosystem subdivisions.  
9 And that's what you're seeing there, that we used in  
10 developing the plan.

11           On the right side, you see the modeling results  
12 at the top. So, you see in the first column these  
13 little dots here. In the first column you're looking at  
14 temperature, and you're looking at historic temperature,  
15 that first dot.

16           The second set of dots is the models for the  
17 2016 to 2045 time period. And the three different dots  
18 are the three different -- are two different models, the  
19 wet and the dry. The wet on the top, the dry on the  
20 bottom, and the ensemble of those two.

21           The third is the same model outputs from 2046 to  
22 2075.

23           So, when you're in the site, you can  
24 interactively click on those different models and this  
25 map will change dynamically to show you the model result

1 in the whole area. And focused on the area you picked,  
2 you will see the averages, average annual temperature,  
3 in this case, would return for the area that's selected.  
4 So, this area here.

5 So, the numbers right now, that you're seeing,  
6 related to that area selected.

7 At the bottom we have, also have interactive set  
8 of indices that were developed. We have climate  
9 exposure, potential climate impacts, and site  
10 sensitivity are three of the indices you see modeled at  
11 the bottom for each of the time periods. And then we  
12 also have a separate dataset that tells us about  
13 terrestrial intactness, or the intactness of the  
14 landscape that you can see here, also.

15 So, those bars are live. You can go to those  
16 bars and click on them, and you'll see the map populated  
17 with the different site sensitivity indices that are  
18 there, and it will change dynamically as you click.

19 And so, I encourage people to do on the site and  
20 play with this, when it's available. It will be  
21 available in mid- to late-August. And right now, it's  
22 tuned to the DRECP area. It's basically there to show  
23 us the results of the modeling and the results of the  
24 conclusions that we got from that modeling for the DRECP  
25 area.

1           What's next for this is to expand it to an  
2 effort that the CEC has going on right now, in the San  
3 Joaquin Valley, to identify low-conflict solar sites in  
4 the San Joaquin Valley, and then to extend it statewide  
5 as a more capable tool for planners and practitioners to  
6 really drill in on the climate change modeling, and work  
7 with it in different areas.

8           And we are also setting it up and designing it  
9 to compliment Cal-Adapt. And we'll hear a little bit  
10 more about that in a minute.

11           Thank you.

12           (Applause)

13           MS. ZAFAR: So, next we have two speakers  
14 sharing the same topic and I will introduce both at the  
15 same time. The topic is science and tools for  
16 understanding coastal vulnerability of energy  
17 facilities.

18           We'll start with Dr. Susan Wilhelm. And Dr.  
19 Susan Wilhelm manages energy-related environmental  
20 research, with a focus on issues related to climate  
21 change and public health.

22           Followed by Dr. Li Erikson. Dr. Erikson is a  
23 research oceanographer with the USGS Pacific Coastal and  
24 Marine Science Center, in Santa Cruz, where she has been  
25 working since 2005, focused on hydrodynamics, near shore

1 processes, coastal flooding and shoreline change. So,  
2 14 minutes, 7 minutes each.

3 MS. WILHELM: Great, thanks for the  
4 introduction. I'm going to offer you a brief overview  
5 of State mandates, sea level rise guidance documents,  
6 and tools that relate to adaptation and sea level rise  
7 planning.

8 And then, I'll hand it over to Dr. Erikson to  
9 give us a tour of Our Coast Our Future.

10 We've already heard a bit about the Governor's  
11 recent Executive Order which, in addition to  
12 establishing groundbreaking, mid-term emission  
13 reductions goals, also establishes a framework for  
14 comprehensive adaptation planning and implementation.

15 The other State mandate I'd like to mention is  
16 AB 2516, which was passed in 2014, and requires the  
17 State to create a publicly available sea level rise  
18 planning database.

19 And this database will be available in early  
20 2016. It requires a number of entities to provide  
21 planning information that relates to sea level rise.  
22 And the entities include the Energy Commission, IOUs,  
23 POUs, and natural gas utilities.

24 Okay, so two State guidance documents I'd like  
25 to mention. In 2013, the Ocean Protection Council, in

1 an effort to try and get State agencies to use  
2 consistent bases for sea level rise planning, update a  
3 sea level rise guidance document to incorporate best  
4 available science from the National Academy's report.

5 One thing I'd like to point out is that although  
6 this 2013 update is best available science, the  
7 uncertainty bands for the various time horizons are  
8 rather wide. And it does pose, still, a challenge to  
9 decision makers.

10 The other document I'd like to point out is the  
11 California Coastal Commission's draft document that is  
12 currently in public review, and will be heard by the  
13 Commission in August.

14 One thing -- this basically provides methodology  
15 for Coastal Commission planning and regulatory actions.

16 And one thing I would point out is that it  
17 recommends the use of a 500-year flood event for  
18 coastal, for critical infrastructure. And it also  
19 suggests that all power plants, all coastal power plants  
20 are critical.

21 Okay, so a number of tools are available for  
22 exploring coastal vulnerability in California to sea  
23 level rise. These tools differ with regard to the  
24 models they use, the level of sophistication, the types  
25 of analysis, and also the geographical resolution.

1           I just want to say a few words about Cal-Adapt,  
2   which the California Energy Commission has overseen the  
3   development of. Cal-Adapt presents a very easy, user-  
4   friendly way to look at local climate-related risks,  
5   including sea level rise.

6           Currently, we're working on version 2.0, which  
7   in addition to updating the downscaling data to align  
8   with the IPCC's Fifth Assessment Report, and improve  
9   resolution will better capture distribution of  
10   precipitation, as well as temperature extremes.

11          The other thing to note, with regard to version  
12   2.0, is that it will allow third-party users to create  
13   custom tools, so that they can manipulate the  
14   information on Cal-Adapt for their own decision-making  
15   purposes.

16          The other tool that Scott already told you about  
17   is the Climate Console from Data Basin, that will be  
18   released later this summer and we are working together  
19   to coordinate those tools.

20          Data Basin, though, as Scott mentioned, is more  
21   tailored towards planning and conservation efforts.

22          So, now, I would like to hand it over to Li to  
23   present on Our Coast Our Future. Thanks.

24          MS. ERIKSON: Thank you. So, as Susan pointed  
25   out, there are several tools available out there for



1 assessing sea level rise impacts on our coasts.

2 Let me see if I can test this, as well. Yes,  
3 okay.

4 So, one of the tools that we've developed and  
5 made is the OCOF tool. So, OCOF is actually the tool  
6 and CoSMoS is the model that we use. I'll talk a little  
7 bit more on the differences between CoSMoS model and  
8 other models.

9 So, OCOF, Our Coast Our Future is really what it  
10 stands for, is an interactive tool that can be used to  
11 explore multiple different scenarios, including king  
12 tides, waves, currents. It can visualize all of these  
13 things in your particular area of concern.

14 CoSMoS is the Coastal Storm Modeling System, the  
15 model system that we put together at the USGS, with the  
16 aid of other researchers, as well, Del Torres, and  
17 Scripps, and so forth. Results of this model are then  
18 used in the OCOF tool.

19 And, currently, it's available for the San  
20 Francisco Bay Area, as you can see here on the image,  
21 from Bodega Head to Half Moon Bay, along the outer  
22 coast, and within San Francisco Bay, as well.

23 And we are currently modeling further, as we  
24 speak, so we're currently working on the Southern  
25 California bite. And the first set of scenarios are

1 coming out this September. And then we'll be completing  
2 with the rest of the scenarios this time next year, they  
3 should all be available.

4 And we'll also doing the Pt. Arena extension, so  
5 we're going a little further north. And we probably  
6 will be continuing to fill in the rest of California is  
7 what it appears to be.

8 So, what makes CoSMoS different from other  
9 models, or so unique? In this case, we're using an  
10 explicit deterministic modeling system, so we're  
11 numerical models that we model all the relevant physics.  
12 And we're trying to keep it as consistent as we can  
13 throughout the State.

14 When I say all the physics, we include waves,  
15 tides, sea level rise, ANSO (phonetic) effect, so the  
16 changes in water levels that occur just with long-term  
17 changes, seasonal effects. And then, we put them all  
18 together in numerical aspect so that they interact,  
19 occurrence and waves interact and both things change as  
20 sea level rises, as well, so it's not just a linear  
21 superimposition.

22 Additionally, the wave climate that we developed  
23 is from the latest suite of the CMIF 5 (phonetic)  
24 models. That's the latest round. And they're modeled  
25 globally and then brought down to a local -- to a

1 regional and then a local scale. And we, as well,  
2 include the atmospheric pressures. And we bring all  
3 that down to the parcel scale.

4           And the last bullet point up there is that we --  
5 the scenarios feature the full spectrum of sea level  
6 rise, so all of those combinations from 0 to 2 meters,  
7 at .25 centimeter intervals, and also an extreme 5 meter  
8 sea level event. And on top of that, we have the  
9 combination of different storm events that we've  
10 extracted from the future time series. So, not  
11 hindcast.

12           So, I was just going to go through some of the  
13 OCOF tool to show you kind of what can be done, how you  
14 can get the data, how you can visualize it, how you can  
15 look at it. Because as I was saying that, you know, we  
16 have the data, okay, but now we need to get it out there  
17 for users, stakeholders, planners and managers.

18           And so, we worked with Point Blue to develop  
19 this site, which you can find if you just Google OCOF.  
20 And you can zoom in on specific areas that we have  
21 completed.

22           And what you can see, I think, over here, I  
23 can't see it from there, is on the left-hand side we  
24 have -- you can choose your topic, flooding, looking at  
25 flooding, waves, currents, duration, flood potential.

1 I'll go into that a little bit. And you can choose your  
2 sea level rise from 0, as I said, up to 500 centimeters.  
3 You can choose your event.

4 And on the bottom here, what the arrow is  
5 pointing towards, is that it's also overlaying with GIS  
6 levels, layers. So you can, for example in this case --  
7 well, if you -- these are all the GIS layers which you  
8 can't read, I'm sure, but it gives a little description  
9 of what they are.

10 So, we have utilities and services, roads and  
11 transportation are all brought in there, as well. And  
12 since is for the energy, what we've -- what I did here  
13 is extracted a small section up in Richardson Bay. And  
14 I think the next one, yes. We zoomed into Richardson  
15 Bay in this case.

16 And if you look at the little yellow, you can  
17 see a train with the little yellow triangles. Those are  
18 apparently, look like high tension lines, utilities,  
19 power utilities.

20 And in this case, so we're showing here the  
21 flooding potential here with no storm and no sea level.

22 And then you can easily flip through, you can  
23 see this is with a 25 centimeters, with 50 centimeters  
24 and so on, and you can flip through, and this is all  
25 without the storms.

1           And what sea level rise would you choose? Well,  
2   you already know by the State mandates, and so forth.  
3   But there is a little tool if you want to see what some  
4   of the research has shown, that you can pull the bars on  
5   the tool and you can see what some of these -- how they  
6   fall within the year.

7           So, on the top panel, you can actually scroll,  
8   look at the years and see where the bars fall from the  
9   different studies. And down here you can do the  
10   reverse, and pick a sea level rise and see what years  
11   those studies have projected those for, as a comparison.

12           An important aspect is always uncertainty.  
13   There's always uncertainty in modeling and in future,  
14   guessing out to future conditions and climate change.  
15   So, we provide a layer, a flood potential layer we call  
16   it, and this is basically an uncertainty bound, lower  
17   and upper uncertainty bound.

18           And within that bound we do our best to account  
19   for vertical land movement, so we have spatially varying  
20   vertical land movement, marsh accretion, the elevation  
21   uncertainty and the digital elevation model, itself.  
22   And also model uncertainty, which we get both from the  
23   grid resolution, as well as mathematical approximations  
24   that are built in to the model.

25           So a thing that you can also do, obviously

1   there's a lot you can do with this tool, you can look  
2   at -- you can compare the storm scenario with no storm  
3   scenario. So, on the left-hand side, and I'll flip  
4   through a couple of them, is just the sea level rise  
5   scenario. And on the right-hand side is the same sea  
6   level rise scenario, but with a 100-year storm on top of  
7   it.

8           And you can see, on the right-hand side, it's  
9   typically quite a bit larger. So, we're finding that it  
10   is important, as one would expect, to include those  
11   storms. It's not just the sea level rise. This is to  
12   point out the point of the bathtub is a good first  
13   approximation, but we can go a little further than that.

14           And finally, there's a nice little thing you can  
15   do, there's an icon you can click on and you can draw a  
16   little polygon wherever you would like, at your area of  
17   interest, and then wait a couple minutes then you get  
18   this report that summarizes the extent of flooding, the  
19   percent of area that flooded, and the depth of flooding  
20   with all the scenarios and with the storms. So, it  
21   combines them all.

22           And that -- for more information, here's the  
23   contact information, and so forth.

24           MS. ZAFAR: Thank you so much.

25           MS. ERIKSON: Okay, thank you.

1 (Applause)

2 MS. ZAFAR: So, I will now turn it over to the  
3 dais, if you guys have any questions. And then, I have  
4 a few -- oh, I'm sorry, I just remembered something.

5 The CEC would like for you to fill out this card  
6 if you have public comment. Public comment is from 4:00  
7 to 4:30. So, please fill this out. She is over there,  
8 and give it to her.

9 CPUC COMMISSIONER RANDOLPH: Okay.

10 MS. ZAFAR: Commissioner Randolph.

11 CPUC COMMISSIONER RANDOLPH: All right, does  
12 anybody have any questions?

13 MR. ALEX: I have a question, primarily for  
14 Guido, but anybody else, as well.

15 Since we have a panel from the utilities next,  
16 if you can identify the most important data and  
17 information that you'd like to get from the utilities,  
18 that you're not currently getting, we'd be interested in  
19 hearing that.

20 MR. FRANCO: Yeah, I think what is important is  
21 to work more closely together. But also, I think we  
22 have to make the utilities comfortable sharing  
23 confidential information. They don't need to share it  
24 with the Energy Commission or the CPUC, but I think they  
25 need to share it with the researchers. And the

1 researchers don't -- they don't need to disclose that  
2 information.

3 I mean, a perfect example is the data used by  
4 Professor Max Auffhammer, you know, where he had house,  
5 confidential household level data, and he was able to do  
6 the analysis and present the results to us.

7 Another example is the natural gas pipelines in  
8 the Delta. I mean, we knew that there were some errors,  
9 so the researchers were able to talk, to work together  
10 with the utilities, in this case PG&E, to make sure that  
11 they were using the correct information.

12 Now, the GIS confidential data, with hydro  
13 solution -- well, the accurate GIS data, we don't need  
14 to see it. I mean, the Energy Commission, we don't need  
15 to see it, we just need to see the results of the study.

16 Yeah, one thing I would like to say, since I  
17 have this opportunity, so the EPIC Program has funding  
18 to support projects for the electricity sector. The  
19 natural gas program can only fund projects for the  
20 natural gas program.

21 We don't have such a funding for the petroleum  
22 sector. So, refineries, oil pipelines, I mean nobody's  
23 studied it. Actually, we're going to start doing that,  
24 there is a one-time availability of funds for the Energy  
25 Commission, so we're going to be using that to start



1 exploring this issue. But the long-term problem is  
2 there is not a steady source of funding to study the  
3 vulnerability of the petroleum sector and to also look  
4 at potential adaptation options.

5 MS. ZAFAR: Regarding the information, the  
6 energy information from the utilities, Ken and I worked  
7 on an energy data center a while back. Although the  
8 Commission didn't go that far, to the energy data  
9 center, but last year we did pass a decision that would  
10 streamline the process for researchers to get data from  
11 the utilities.

12 So, if that's not working or if it's -- if you  
13 need more information, give me a call or send me a note.

14 Others?

15 CEC CHAIR WEISENMILLER: Yeah, I had a couple.  
16 One is I wanted to make sure that the researchers who  
17 mentioned, basically, websites, that we make the --  
18 Scott's is upcoming. But, anyway, when that's  
19 available, we make available to everyone, who is here,  
20 the appropriate links so they can tie in.

21 The other question I wanted to ask was about  
22 trying to look at disadvantaged communities as we go  
23 through this analysis. You know, essentially, certainly  
24 we have identified disadvantaged communities, so it's a  
25 question of trying to look at impacts of climate change

1 on those of our citizens.

2 MS. ZAFAR: So, who was the question directed  
3 to?

4 CEC CHAIR WEISENMILLER: Well, I'm looking at  
5 Guido so, yeah.

6 MR. FRANCO: Yeah, so, I mean that's a mandate  
7 for us, so we are -- like for example, we're looking at  
8 how climate change will disproportionately impact  
9 disadvantaged communities.

10 For the sea level rise issue, it was the same  
11 thing. When we looked at the areas affected, we also  
12 look at the areas where we have disadvantaged population  
13 and how they will be affected by sea level rise.

14 But in general, yes, as a mandate we will follow  
15 through to make sure that we address the issue of how to  
16 identify disproportional impacts and also how to  
17 provide, suggestions on how to overcome those impacts.

18 MR. FLINT: And I can just add, from the  
19 perspective if the Desert Renewable Energy Conservation  
20 Plan, our draft was also a draft EIR/EIS. So, we did an  
21 analysis and identified the environmental justice and  
22 disadvantaged communities in the desert, of which there  
23 are quite a few.

24 And in the second part of this, the second phase  
25 of the DRECP, we're planning to use the Climate Console

1 and Data Basin to make the data from the DRECP available  
2 to the counties doing their general planning. So, they  
3 certainly have the same information, basic information  
4 on -- and basic climate datasets that they can use to  
5 examine the human environment, too, not just from a  
6 biological and conservation perspective.

7 CEC CHAIR WEISENMILLER: How about Cal-Adapt?

8 DR. WILHELM: Cal-Adapt will be displaying many  
9 of the results from the Fourth Climate Change  
10 Assessment, including the socioeconomic and land use  
11 scenarios that are being developed to support the  
12 assessment.

13 And we're also working with Cal-Enviro Screen,  
14 as well as Cal-EPA, who has recently completed an urban  
15 heat island study to see how those datasets might be  
16 able to work with Cal-Adapt.

17 CEC CHAIR WEISENMILLER: Okay.

18 MR. FRANCO: But also, the Cal-Enviro Screen, so  
19 it will be, I think, somehow displayed in Cal-Adapt,  
20 too. I mean, there will be some connection between the  
21 Cal-Adapt and the Cal-Enviro Screen.

22 CEC CHAIR WEISENMILLER: I was just going to  
23 follow up on your comment on data. I think it's  
24 important that data be accessible to the researchers.  
25 But I think that the results, particularly identifying

1 key vulnerabilities, should certainly be available to  
2 the PUC and to the Energy Commission, so we can target  
3 where we want to focus our mitigation activities.

4 CEC COMMISSIONER DOUGLAS: So, I've probably got  
5 one, broad, open-ended question and one really specific  
6 one. I'll start with the specific one.

7 The CoSMoS Model, you know, I've heard a bit  
8 about it and been briefed on it to some degree, and it  
9 seems like it will be very, very, very helpful.

10 What is the time frame for that to be available  
11 statewide or up and down the coast?

12 DR. ERIKSON: So, by this time next year the  
13 rest of -- the Southern California bite should be  
14 available. And the Pt. Arena extension, as well, up to  
15 Pt. Arena.

16 CEC COMMISSIONER DOUGLAS: Okay.

17 DR. ERIKSON: But then there is a missing  
18 portion in Central California and to the north of Pt.  
19 Arena. And that, I would say another couple of years,  
20 probably.

21 CEC COMMISSIONER DOUGLAS: Okay. All right,  
22 thanks. Well, it certainly looks like a really exciting  
23 and useful tool for that issue.

24 You know, my broader question or I'll start with  
25 an observation is that, you know, here we are in a

1 workshop on climate adaptation, focused on the  
2 electricity sector, and we are hearing something that,  
3 you know, we could be hearing in the same way if this  
4 were focused on the water sector, or species  
5 conservation, or agricultural, or public health. You  
6 know, we're hearing about climate change and how it's  
7 interacting with our environment and infrastructure, and  
8 it's stressing our environment and infrastructure. And  
9 it's challenging, in this case, our utilities, our  
10 service providers to deal with changing conditions and  
11 adapt in new ways. And it's challenging our agencies,  
12 you know, in this case Energy Commission and CPUC.

13 But in other cases, of course, you've got other  
14 daises and other agencies, with their own perspective on  
15 issues.

16 And, of course, this is all happening at the  
17 same time and these issues are all interrelated. So, in  
18 the real world, and Scott's presentation kind of gets at  
19 this, you have to be able to think about electricity  
20 system adaptation and, by the way, how does that mesh  
21 with and how do we handle that in a context in which the  
22 natural environment's changing and that greatly affects  
23 our species conservation world. And how does water play  
24 into this, and public health, and socioeconomic?

25 And so, what we see, as we look at the big

1 picture on climate adaptation, is this incredible  
2 complexity and interrelatedness.

3           And I think it was the speaker from SMUD, whose  
4 words kind of stuck with me a bit, from this morning.  
5 You know, organizational culture is what happens when no  
6 one tells you what to do. And most of the time, people  
7 tell you what to do all the time, but they don't always  
8 tell you, you know, how to work together and how to  
9 solve these cross-sectoral issues. And even if you want  
10 to, you find that most of our institutions are not  
11 really hard-wired at this point to do that.

12           So, I guess the question coming out of that  
13 observation, and maybe I'll pick on Louise, because with  
14 the Governor's Office and OPR role, you probably run  
15 into this every day. But I'd be really interested in  
16 your observations on how we address, you know, and maybe  
17 I'll borrow Tim Sullivan's words from this morning, too,  
18 how we address the social issue of adaptation, as  
19 opposed to the technical issue. Because we're really  
20 good at technical solutions.

21           But I think, you know, these meetings can  
22 sometimes, by the end of it, feel a bit frustrating,  
23 too, because in a way what we have to solve is a social  
24 problem, I think.

25           But I'd love your thoughts. And I didn't mean

1 to just pick on you, anyone's thoughts on that.

2 MS. BEDSWORTH: No, I think that observation is  
3 right on. I mean, I think that's the challenge. But I  
4 also think, I mean what I was going to point to is what  
5 we see in the regional approaches where I think, I mean  
6 much of what's going to happen -- the State, obviously,  
7 has a very important role to play on adaptation, but the  
8 effects are very local, and they're going to vary.  
9 They're going to vary across region. And how they  
10 interact with one another is going to vary across  
11 region.

12 So, I think that that word, "regional", being in  
13 the Executive Order is really important because it is a  
14 shift from our sectors, which work very well for us at  
15 the State. But I think when you're working on the local  
16 level, you need to be able to work in a place-based way.

17 And so, I think our challenge is really to think  
18 about how we link those two things. I think ARCA and  
19 the Regional Collaboratives is a really interesting  
20 opportunity to do that.

21 I think the work we're doing through the  
22 National Disaster Resilience Competition is another,  
23 where it's really we're looking at, okay, we have  
24 federal partners, we have all of these people with  
25 similar ideas of what has to happen, but how do we link

1 our community resilience with our statewide goals, with  
2 the federal goals? You know, and so I think the DRECP  
3 is another great example.

4 And I think it's those -- it's how we build -- I  
5 don't know that I have the right answer, because we're  
6 doing a lot in -- we are doing it in places, but being  
7 able to make that transition between these place-based  
8 efforts and these broader goals is going to be the key.

9 And I think for us, at the state level, it makes  
10 a lot of sense to take a sectoral approach. But we're  
11 going to have to think about how we make that  
12 translation down to a place-based approach, as well.

13 CEC COMMISSIONER DOUGLAS: I think that makes a  
14 lot of sense and it's a good observation. You know, I'd  
15 love to follow up with you on that a bit offline. We've  
16 certainly been working with some local governments in  
17 the desert, but not only in the desert. And it's been  
18 pretty interesting to see how different a lens you can  
19 bring to issues when you're really rooted in a specific  
20 place. And any issue at all that comes out of that  
21 place can walk through your door at any minute.

22 MS. BEDSWORTH: Right. And I think we have some  
23 neat opportunities that we're maybe not taking advantage  
24 of right now, that we could.

25 And just another example that I think, you know,



1 has energy implications to it, but much broader, is the  
2 fire that occurred in Weed, California, last fall. The  
3 Boles Fire that destroyed over 180 houses, critical  
4 infrastructure, all of these pieces.

5           They're getting a bunch of money -- not a bunch.  
6 They're getting some money through the Community  
7 Development Block Grant Program that's administered by  
8 HCD. They have said, we want to think about how to  
9 incorporate resilience in this.

10           And so, I think we're also getting pushed from  
11 the local level to think about, okay, you know, how do  
12 we help them with this federal money, that is  
13 administered by the State, to do that.

14           You know, so I think we have a lot of  
15 opportunities that we will start taking advantage of  
16 more, both because we need to, but also we're starting  
17 to hear that from local communities, too.

18           So, yeah, I would love to talk to you more about  
19 it because I think there are a lot of opportunities.

20           CEC COMMISSIONER DOUGLAS: Great, thanks.

21           MS. ZAFAR: Before going to the next panel,  
22 Commissioner Randolph, did you have a last question?

23           CPUC COMMISSIONER RANDOLPH: Oh, I just -- more  
24 of an observation, than a question. I liked the way you  
25 guys put together these panels because they're talking

1 about the information we need and the ideas out there,  
2 and then seguing into having the utilities come up and  
3 then kind of tell us what they're up to is perfect.  
4 Because, you know, I think we need to start thinking  
5 about ways to make sure it's not just the public  
6 agencies that are talking, but the agencies and the  
7 utilities.

8           And I loved the DOE's model and am very  
9 interested in following up on how we can do something  
10 liked that at the State level, in conjunction with the  
11 CEC. So, very interested to hear from the utilities.

12           MS. ZAFAR: Thank you, panelists. And on that  
13 note, we're going to start with the utilities panel  
14 next. Thank you.

15           (Applause)

16           MS. RALFF-DOUGLAS: And now, for our final panel  
17 of the day we have four utilities represented. Each of  
18 them are going to give a 15-minute presentation, talking  
19 about what they are doing in terms of adaptation,  
20 generally, and then specific examples of things that  
21 they are dealing with.

22           A lot of what you heard this morning is that  
23 there's long-term adaptation issues, but then there's a  
24 lot of things that we are trying to adapt to now. And a  
25 lot of what the focus of the utilities is kinds of

1 aligns with emergency management or emergency crisis, on  
2 some levels.

3 So, I'm going to hand it over to Diana Day, as  
4 the first speaker for this morning -- or this afternoon.

5 MS. DAY: Thank you. My name is Diana Day.  
6 I've the Vice President for Enterprise Risk Management  
7 and Compliance for Southern California Gas Company and  
8 San Diego Gas & Electric Company.

9 I'll be sharing the podium today with Jimmie  
10 Cho, who is our Senior Vice President for Gas Operations  
11 and System Integrity, also for both San Diego Gas &  
12 Electric and for the Southern California Gas Company.

13 So, I'm going to start. Jimmie's going to come  
14 up and then I'm going to wrap it up for us this  
15 afternoon.

16 We will be addressing two themes today. How San  
17 Diego Gas & Electric and SoCalGas look at climate  
18 adaptation from a risk perspective.

19 And secondly, ways in which in which we are  
20 partnering on climate adaptation matters.

21 We understand and have had a dialogue with  
22 Kristin about the difference between climate change,  
23 climate mitigation, and climate adaptation. And,  
24 internally, we use the following definition for climate  
25 adaptation, which is consistent with the 2014 national

1 climate assessment definition.

2           The definition that we use for climate  
3 adaptation is a capability to anticipate, prepare for,  
4 react to and recover from significant, multi-hazard  
5 threats with minimum damage to social wellbeing, the  
6 economy and the environment. I know that's a very  
7 lengthy term, but it's comprehensive. And that's how we  
8 define and react to adaptation at our companies.

9           At SoCalGas and at SDG&E, we are in the process  
10 of formalizing our enterprise risk management processes,  
11 quantifying risks and developing a more consistent,  
12 transparent and repeatable processes for evaluating  
13 risks.

14           And that includes the risk of climate change.  
15 We're in the process of scoring climate change as a  
16 separate risk. But one thing that has struck us, as  
17 we've embarked on that effort, is that many of the top  
18 risks that we've already identified have a very strong  
19 correlation with climate related issues.

20           On the electric side, one of our top risks is  
21 the risk of wildfires and that's clearly correlated with  
22 drought and extreme temperature situations.

23           Issues around our electric infrastructure  
24 integrity are linked to sea level rise and flooding  
25 issues.

1           And for our gas systems, we see links between  
2 the risk of having an adequate natural gas supply that's  
3 linked to extreme temperature changes. And issues  
4 around storage well integrity are linked to flooding and  
5 landslide risks. And we'll be talking about those later  
6 in the presentation today.

7           As we go through the presentation, we're going  
8 to discuss how we're leveraging the latest science and  
9 technology to anticipate and quantify risks associated  
10 with the changing climate, and also how we collaborate  
11 with our community and educate internally to make better  
12 risk-informed decisions.

13           We'll also be giving some examples of adaptation  
14 efforts that we believe are making us more resilient to  
15 these inevitable changes.

16           At SoCal, we will highlight efforts related to  
17 landslides, flash floods and subsidence.

18           And at SDG&E, we're going to talk about some of  
19 the adaptation considerations that we had in connection  
20 with the South Bay Substation.

21           Again, the goal of our efforts around this is to  
22 minimize the risks associated with social wellbeing, the  
23 economy and the environment.

24           An important part of our risk efforts is to  
25 ensure that we have adequate data to measure risks. I

1 really liked Dr. Grove's presentation this morning,  
2 where he talked about the need for data-driven  
3 strategies. That's an important part of our risk  
4 approach.

5 We are currently looking at data that describes  
6 the risk of sea level rise in our service territory. On  
7 the lower left here, you'll see some information that  
8 was recently published by the San Diego Foundation, and  
9 we used as part of the Port of San Diego Adaptation  
10 Plan.

11 This data indicates between 12 to 18 inches of  
12 sea level rise in San Diego by 2050. And there are  
13 pending reports that are expected to exceed these  
14 values, although those papers and studies have not, yet,  
15 formally been published.

16 The recent San Diego Foundation report predicts  
17 the following consequences in our service territory.  
18 Beaches will shrink and some will disappear completely.  
19 Fragile sea level cliffs will collapse. Coastal  
20 properties will be flooded with increasing regularity.  
21 We can expect to see more frequent high waves and rough  
22 surf that brings the potential for significant damage,  
23 especially during storms. And we can expect to see  
24 coastal wetland will lose their capacity to filter  
25 polluted runoff and keep beaches clean.

1           In the upper right, this is an interesting  
2 image. Dr. Fischer Wilhelm just talked about the  
3 requirement for a 1-in-500 year, looking at sea level  
4 rise from that perspective. That's what this image  
5 shows. And for those of you familiar with Sea World,  
6 this is in the area of San Diego around Sea World.

7           This is taken from a U.S. Geological Survey  
8 project that shows the potential for coastal flooding in  
9 San Diego Bay today, if we were hit by a 1-in-500 year  
10 winter storm. The results of that survey indicate that  
11 areas of our coastline could be very heavily impacted,  
12 including areas such as Coronado and around Sea World.

13           When this sea level rise is coupled with  
14 stronger storm systems hitting our coast during the  
15 winter months, we see the potential for coastal damage  
16 increasing into the future.

17           And, of course, as a utility we care not only  
18 about that in terms of the impact to our community, but  
19 we have customers and infrastructure located in those  
20 areas and we are looking at it from that perspective.

21           We've also identified an associated aspect of  
22 climate change risk as it relates to large climate  
23 swings. The increasing temperatures are already showing  
24 to have an impact across the regions of our service  
25 territory.

1           We are already seeing an impact from extreme  
2 heat waves, like the one that was experienced last  
3 September 16th, when we set a new electric system load  
4 at SDG&E, 4,890 megawatts. As we heard this morning, we  
5 anticipate this increase in temperature will increase  
6 into the future.

7           As Dr. Cayan mentioned this morning, consistent  
8 with his observations, our internal investigations are  
9 also showing that there's a significant impact from the  
10 warm, overnight low temperatures that are projected to  
11 accompany our heat waves in the future, as well.

12           And if you look at the purple chart on the upper  
13 left there, notice not just the blue trend line, but  
14 that the bottom temperatures are increasing. This has  
15 an impact on our electric system.

16           I'm told that this was experienced earlier this  
17 month in New York City, when an extreme heat wave was  
18 accompanied by overnight low temperatures which remained  
19 in the 90s. And that resulted in record loads.

20           We're also seeing the heat building up this  
21 summer over the Pacific Ocean. With El Nino already  
22 approaching a strong status, we are preparing for the  
23 pendulum to swing and potentially see a return to storm  
24 conditions, once again, across Southern California, a  
25 trend that we are beginning to prepare for.



1           Our meteorological experts at SDG&E are telling  
2   us that the current El Nino is trending close to the El  
3   Nino's of 1982 and 1997, where we have seen historically  
4   significant rainfall and winter storm activity.

5           Just the weekend before last, the remnants of  
6   Hurricane Delores moves into the Southern California  
7   region, bringing flooding rainfall to our region. It  
8   was very odd, I can tell you, to have an electrical  
9   storm in July, in San Diego.

10          And our meteorologists, in analyzing that storm,  
11   have determined that that was a 1-in-200 year event.

12          Returning to the chart, on the upper left, this  
13   graph was generated by the National Oceanic and  
14   Atmospheric Administration and shows the rapid  
15   temperature increase.

16          On the upper right, this image was generated for  
17   the San Diego Foundation's most recent climate report  
18   for San Diego. The research was provided by the Scripps  
19   Institute of Oceanography. And it shows that since  
20   1985, temperatures have increased 1.7 degrees. And  
21   projections are that by 2050 temperatures will be 4.8  
22   degrees above the 1985 baseline.

23          In the lower left, this image was generated by  
24   our meteorological team. And it shows water temperature  
25   anomalies across the Pacific, as of the middle of July.

1 El Nino is rapidly approaching strong status and showing  
2 indications of strengthening as we approach the fall.

3 Analyzing risk starts with good data and we are  
4 taking steps to collect meteorological data so that we  
5 can adapt to climate change in our service territories.

6 At San Diego Gas & Electric, I'm proud to say  
7 that we have developed the largest and most  
8 sophisticated utility weather sensor network in the  
9 country to monitor adverse conditions at all times.

10 We have 170 weather stations and they're shown  
11 on this graph here.

12 As part of our original wildfire adaptation  
13 plan, SDG&E realized that we needed to make adjustments  
14 to the way we would operate our electric system, taking  
15 a circuit-by-circuit approach through our back country.

16 To that end, every circuit that we operate in  
17 our high risk fire areas has at least one weather  
18 station, supporting our adaptation to the increase in  
19 wildfire activity, and helping us identify and quantify  
20 other climate-related risks to our electric system.

21 We have archived every weather observation that  
22 we have ever received, developing a comprehensive  
23 climate database to support adaptation efforts as we  
24 move into the future.

25 On this graph, which shows our weather stations,

1 we also show within the red lines, that is the SDG&E  
2 fire threat zone, which is a fixed zone. And then the  
3 shaded area that's in the middle there, that's what we  
4 call our back country, the eastern portion of the San  
5 Diego Gas & Electric service territory. That is our  
6 2015 high risk fire area. And the highest risk fire  
7 area is re-determined every year, based on data that we  
8 have and predictions about weather conditions.

9           The picture in the upper right shows two of our  
10 SCADA technicians installing one of our weather  
11 stations. The weather stations are 20 feet above ground  
12 and they measure temperature, humidity, winds, and some  
13 also measure rain, solar radiation and pressure.

14           Those weather stations provide us with reads  
15 every ten minutes, or about 1,120 data points every hour  
16 of every day.

17           The weather station also has 35 cameras, which  
18 we own and operate, and we collaborate with the  
19 University of California in San Diego to support a  
20 network of another 110 cameras across 20 mountaintops.  
21 So, that's 145 cameras.

22           I will note that one of my colleagues was  
23 watching the news last night about the fire that's going  
24 on in Nevada, and the weather person made a comment  
25 about Nevada having six cameras. We have 145 in our

1 service territory.

2 This graph shows how we are using the data  
3 collected from our weather stations and it relates it to  
4 drought and wildfire risk. Drought creates additional  
5 issues across Southern California, in addition to the  
6 water resource issues that we heard of this morning, and  
7 that some of the other utility panelists will be  
8 discussing.

9 Some of the largest wildfires in our State's  
10 history are fed by drought-stressed vegetation.

11 Being a leader in wildfire adaptation, SDG&E has  
12 partnered with the United States Forest Service and UCLA  
13 to leverage big data analytics to better understand  
14 wildfire trends across the region.

15 Understanding that risk, we are able to  
16 implement our comprehensive climate adaptation plan,  
17 which has been built around the increasing wildfire  
18 threat across Southern California.

19 In addition to showing the overall increase in  
20 days that we experience high wildfire potential, the  
21 data also suggests that we are seeing a longer wildfire  
22 season.

23 Last year is a good example of this. May 14th,  
24 2014 was rated as having the fourth highest wildfire  
25 potential in San Diego for the last 30 years.

1           I will note that those wildfires were not only  
2   in the highest threat index in the inland, but were also  
3   along the coast. So, we're seeing an increase not only  
4   in the time of year in which we're seeing wildfires, but  
5   the geographic area as well.

6           The graph shown on this slide uses data that was  
7   generated on an SDG&E super computer, with cooperation  
8   from the U.S. Forest Service and UCLA. It depicts  
9   custom fire potential algorithms which were developed to  
10  rate the fire potential for every day going back to  
11  1984. So, it's a back-casted algorithm.

12          The graph shows 30 years of daily fire  
13  potential, with large fires indicated by the circles.  
14  So, what the algorithm predicts is the length of the lat  
15  bar. And you'll notice that on many of those highest  
16  bars, we actually had wildfires.

17          We've also seen a significant increase of high  
18  risk days over the last 15 years, a trend that is  
19  forecasted to continue.

20          Not only are we looking, taking our data to look  
21  backwards, we're also using it in a predictive mode to  
22  make risk-informed predictive modeling around the  
23  wildfire threat.

24          We have co-developed a nationally recognized  
25  tool with UCLA and the U.S. Forest Service. It's called

1 the Santa Ana Wildfire Threat Index. Additional  
2 partners on this project include the National Weather  
3 Service, CAL FIRE, UCSD, and the Desert Research  
4 Institute.

5           The Santa Ana Wild Threat Index is basically  
6 like a hurricane scale for Santa Ana ratings. It rates  
7 the potential for wildfires on a scale from no rating to  
8 extreme. So, similar when you hear a hurricane and it's  
9 Cat 1 through Cat 5, this is similar for the threat of  
10 Santa Ana's.

11           It will help us anticipate extreme events as  
12 they approach our region in the future. We have  
13 increasing confidence in this information and algorithm  
14 due to its proven ability to identify historical high-  
15 risk wildfire days, as shown on the previous slide. And  
16 this algorithm allows us to look forward, which allows  
17 us to better prepare and respond by initiating our  
18 Community Fire Safety Plan, which is part of our  
19 Wildfire Adaptation Plan.

20           Being able to anticipate these events enables  
21 enhancement preparedness through developing and  
22 executing an appropriate adaptation plan to reduce risk.

23           This science is all being integrated back to the  
24 fire agencies and the general public. With 20 million  
25 Southern California residents having access to this

1 information through the U.S. Forest Service.

2 We hope this project will serve as a model for  
3 the development of additional tools supporting climate  
4 adaptation plans in the future.

5 This slide shows some of the efforts we are  
6 taking internally to expand the understanding across our  
7 organization and within the community around climate  
8 change adaptation.

9 In an effort to adapt to sea level rise, SDG&E  
10 and SoCalGas are applying for a CEC grant, which is  
11 focused on adaptation efforts. If this opportunity  
12 comes to fruition, we would embark on a well-  
13 coordinated, multi-year project beginning later this  
14 year.

15 We're also collaborating with the Scripps  
16 Institution of Oceanography and plan to continue that  
17 collaboration into the future.

18 As part of the work we're doing with DOE, which  
19 was discussed this morning, we're developing an Internal  
20 Climate Vulnerability Report, which will compile the  
21 most credible and recent scientific information  
22 available to help determine potential threats to our  
23 system.

24 We also have an internal, Cross-Functional  
25 Climate Advisory Group within our organization, which

1 brings together the expertise of 15 different  
2 departments across our company to identify where  
3 infrastructure is susceptible to climate risk and how we  
4 can better develop adaptation plans to minimize those  
5 risks in the future.

6 And, finally, I would be remiss, I ran out of  
7 slides and time, but I would be remiss in not mentioning  
8 the Borrego Springs micro grid, which Guido Franco  
9 mentioned a few minutes ago. We're really proud of  
10 that. That's an example of the adaptation that we're  
11 doing to the extreme weather conditions in our service  
12 territory.

13 And now, I'm going to turn it over to Jimmie to  
14 talk about adaptation at the SoCalGas system.

15 MR. CHO: Diana, thank you. And I want to thank  
16 the leaders from the State office, the Commission, CEC,  
17 the Governor's Office.

18 One word that Craig used earlier was  
19 interdependency and the holistic approach. And there's  
20 so many things going on, unless we really work together  
21 we really won't have an effect, we won't be -- it just  
22 won't happen. So, bringing this together, I appreciate  
23 that.

24 By the way, I want to let you know, we manage  
25 both utilities. So, on the gas side we manage it as an



1 integrated gas transmission system. We've got about,  
2 just under 4,000 miles of high pressure transmission  
3 line. And we go from the Mexican border, the Colorado  
4 River up to the Fresno County line and the Hearst  
5 Castle.

6 It's a lot of stress. I'm actually 27. And I  
7 used to have flowing locks of hair, recently, but --

8 (Laughter)

9 MR. CHO: I want to just share a story with you  
10 as a starting point, and then give you some examples. I  
11 was fortunate to talk to a group of customers, major  
12 customers in San Diego, not too long ago. And I asked  
13 the question, you know, when do you think gas is most in  
14 demand? And they said, without a beat, boy, when it's  
15 really cold I use gas, I heat up my house.

16 And I said, that's true. But I said, one of the  
17 highest days and, more importantly, one of the highest  
18 times we had gas send out was during the summer, late  
19 summer. And it was on a September day, and it happened  
20 to be not midday, but early evening. That is the  
21 reality of what is happening today.

22 And why did that happen? It happened because of  
23 the energy portfolio and the diversity of our portfolio,  
24 right. Is a peak EG demand day electric generation?  
25 And guess what happens after a certain time, the sun

1 goes down, the wind stops blowing. And underneath,  
2 underneath our electric reliability, we can't forget, is  
3 the fuel that runs it. It's natural gas. The peaker  
4 plants, the base plants rely on clean natural gas to  
5 provide that reliability. So, that is a reality that a  
6 lot of our constituents don't really grasp until I share  
7 that.

8           And I think the other thing I learned today,  
9 just sitting here, is three things. One is not only  
10 about climate change and trends, but climate extremes.  
11 That's really important.

12           And the third thing is portfolio diversity of  
13 energy. We talk about energy in terms of, you know,  
14 months, seasons, years, but I want to just bring back to  
15 you, I talk about it in terms of hours. That's how I  
16 live every day, it's an hourly issue.

17           Now, let me go through some real important  
18 examples of what we're doing in terms of adaptation.  
19 For us, in the gas system, things are buried  
20 underground, so folks don't really take notice of it.  
21 But the earth moves, right.

22           So, one of the things that we focus on is  
23 stresses on our pipeline system. And we look at land  
24 movement, landslides. In fact, after the Northridge  
25 earthquake, we had a lot of land movement in our Aliso

1 Canyon storage field. So, the remediation for that was  
2 a lot of geotechnical work, and we do that. And that  
3 will be invested benefits, not just for the earthquake  
4 event, but for climate change in the future, as well.

5           Then the other thing that we're very mindful of,  
6 if I can go back one. Well, on this one, what we're  
7 mindful of is extreme weathers, right. We think about  
8 heat, hot temperatures. But last weekend, I believe it  
9 was, two weekends ago, actually, there was a major flash  
10 flood in the desert. And all of you know that on  
11 Interstate 10, a bridge washed out. Well, just north of  
12 it, guess what, there's pipeline infrastructure.

13           So, here's an example of not of hot weather, but  
14 of a flood situation, of an instant in time when an El  
15 Nino type incident could have damaged the piping. It  
16 was fine. Our system is very resilient. But I wanted  
17 to just share that incident with you, that is a reality.

18           The other thing that we're doing to adapt and to  
19 manage risk is technology, obviously. And we're looking  
20 at satellite technology. The Pipeline Research Council,  
21 or National PRCI, is one of the organizations we're  
22 involved with.

23           And we want to use what's out there in terms of  
24 remote sensing, so that if there are changes,  
25 subsidence, movement, encroachment we can see that

1 change over time.

2           And then, I want to share an example of how,  
3 today, we are using awareness and proactive behaviors  
4 when it comes to climate change, and talk about our  
5 South Bay Substation. This is SDG&E. And this is a  
6 substation that was constructed over half a century ago,  
7 and it doesn't meet today's needs. So, we're  
8 constructing a new one.

9           And in doing that, we're looking at sea level  
10 rise as a potential threat. So, we are grading and  
11 elevating the substation accordingly.

12           And then even more immediate, to the extent that  
13 we can for soils compaction and for dust control, we're  
14 using recycled, reclaimed water. So, we want to make  
15 this part of the fabric of our planning and  
16 construction, as well.

17           And then, for us, in terms of the partnership,  
18 it's not just with agencies, other utilities, but first  
19 and foremost our communities and our customers are the  
20 biggest stakeholders. So, we have a very robust  
21 outreach program at both utilities, helping businesses  
22 and customers understand how they can help be part of  
23 the solution.

24           And then the other thing that was mentioned  
25 quite a bit today is the work DOE is going with some of

1 the private investor utilities. And I think the biggest  
2 challenge for us isn't the discussion, it's the  
3 execution, it's the action that we need to take around  
4 the issues that we know, and then bringing  
5 interdependencies together to have common solutions,  
6 that are cost effective, and that are risk-based.

7 And I'm going to actually turn it over to Diana.  
8 I lost my water somewhere, so if you find a bottle of  
9 water, please let me know. Thank you.

10 MS. DAY: We were asked, as part of preparing  
11 for this, to talk about suggestions and opportunities  
12 that we see, recommendations that the utilities have.

13 And this slide, there's really three themes. We  
14 do see the need for research. I know that was discussed  
15 this morning. But we think it's critically important  
16 for the utilities to work collaboratively with State  
17 agencies and federal agencies to make sure we're on the  
18 same page.

19 There have been examples in other states, where  
20 utilities have begun research, they weren't on the same  
21 page with some of the agencies, they had to start from  
22 scratch, again. And that's not a good way to proceed.  
23 So, we really would like to work collaboratively, make  
24 sure we're proceeding on the basis of an agreement for  
25 those studies.

1           The second through fourth bullet points are  
2 suggestions that came out of the 17 utilities that met  
3 with DOE. We support all three of those  
4 recommendations.

5           And the last recommendation is what Jimmie  
6 alluded to. We do use recycled water in our  
7 construction activities. But because of some State and  
8 local regulations and restrictions, that's not as easy  
9 to do as we would like.

10           We're aware of examples in our service  
11 territories where reclaimed water is being dumped into  
12 the ocean, millions of gallons a day, because it can't  
13 be shared across local jurisdictions.

14           We would very much like to use that water and  
15 work with the appropriate agencies to make it easier to  
16 use recycled water in our construction activities. And  
17 we think there's opportunities within the State to  
18 advance those regulations.

19           Thank you.

20           (Applause)

21           MR. GRIGAUX: Okay, good afternoon everybody,  
22 and thank you again for the invitation to participate on  
23 behalf of Southern California Edison, in this workshop.

24           Just briefly, what we're going to cover here,  
25 this afternoon, is a brief overview of the types of

1 climate impacts that we, in Southern California Edison,  
2 confront today and in the foreseeable future, and how  
3 diverse those are.

4           We'll then touch, real briefly, on the framework  
5 that we in fact use today, already, to deal with these  
6 climate impacts in our planning and operational  
7 protocols, and processes to mitigate those impacts,  
8 which we believe effectively could be used as a model,  
9 so to speak, for really incorporating more of the  
10 longer-term perspectives that are not really fully  
11 embedded in our planning processes today, but that we're  
12 working towards doing going forward.

13           Then, we'll do a deeper dive on the wildfire  
14 risk for our company and how we go about mitigating  
15 those and with today's tools. And touch on, briefly,  
16 some next steps.

17           So first off, just as a brief overview, for  
18 those of you not familiar with Southern California  
19 Edison, we have -- we operate, in fact, between SDG&E  
20 and PG&E, sort of Central and Southern California.  
21 Cover a service territory of about 50,000 square miles.  
22 Service 5 million customers, 14 million population.  
23 Have about 115,000 circuit miles of transmission  
24 distribution. And about 5,000 or 5,500 feeders or  
25 circuits that we rely on.

1           We operate effectively in a quite diverse  
2 climate zones today. We serve the coastal regions, we  
3 serve desert communities, we serve mountain communities.  
4 So effectively we, today, confront pretty extreme events  
5 and, therefore, design, construct, operate, engineer  
6 with these in mind. And those are effectively  
7 incorporated in how we build our system and operate the  
8 system. So, we deal with high heat conditions, low  
9 temperatures, wet, dry conditions, fires, rain,  
10 lightning storms, snow and so on.

11           So, it is very much, today, part of how we  
12 actually design and build a system and mitigate against  
13 these impacts.

14           That being said, and also considering that  
15 effectively we use, today, a design criteria of a 1-in-  
16 10 heat storm as part of building the system, and  
17 operating the system, we do not incorporate sort of  
18 long-term horizon projections of what these climate  
19 impacts, that we've been discussing today, into our  
20 planning process. And it is something that we are  
21 working towards, as was referenced this morning. There  
22 were a number of references to Southern California  
23 Edison joining a number of studies out there, between  
24 DOE and the CEC.

25           We've recently, also, just joined the Lawrence



1 Berkeley National Lab's funding, an effort there to look  
2 at climate adaptation, as well as looking at the impact  
3 of wildfires on our transmission distribution system.  
4 So, we look forward to continuing down that venue and  
5 sort of build some scientific-based data to help  
6 reinforce our planning process.

7           So, this is a framework that effectively mimics  
8 how we operate and how we plan today, and incorporating  
9 a variety of trends and forecasts with respect to load  
10 and generation capacity throughout the service  
11 territory.

12           But as it relates to climate change, we would  
13 effectively like to use scientific-based, consensus-  
14 drive criteria and data points, and analytics and tools  
15 that we've been sort of referencing today to really  
16 incorporate in our planning process going forward. To  
17 make sure that we can, in fact, develop some specific --  
18 a better understanding of the vulnerabilities onto our  
19 system by overlaying those trends on our grid, and  
20 understanding how they would impact, and how resilient  
21 our grid is today, and where the gaps are. And then,  
22 work towards a balanced set of solutions that would  
23 really address the safety risk to the public, as well as  
24 the reliability of our system with the costs to serve --  
25 to serve those needs, and those changing needs over

1 time.

2           So, jumping into, now, the wildfire risk, which  
3 is specifically the type of severe event we've been  
4 asked to touch on here.

5           So, I'll do a deeper dive on this. Effectively,  
6 what we'll do here is I'll touch on the data that we  
7 rely on today, and how we better understand, if you  
8 will, the types of risks that we're confronting across  
9 the service territory.

10           Talk about how we identify those vulnerabilities  
11 and then talk about the actions that we take to mitigate  
12 those.

13           Sort of a busy slide here but, essentially, it's  
14 meant to capture the basis of the data that we use  
15 today. So, we do rely on the CAL Fire, that was  
16 referred to here as, FRAP fire threat maps, as the basis  
17 for understanding what types of fire risks we are facing  
18 across the service territory.

19           So, it looks at sort of the density of the fuel.  
20 It looks at potential ignition sources. And looks,  
21 also, at the wildland urban interface, which is really  
22 the areas where we have the most vulnerabilities in our  
23 system.

24           We overlay that on top of our -- the  
25 distribution, our distribution and transmission, and

1 substation grid. In addition to overlaying our high  
2 wind data sources that we have for the service  
3 territory.

4 And understand, also, the distribution of the  
5 1.5 million trees that we manage proactively today, and  
6 through our veg management program.

7 And, effectively, come up with a definition of  
8 our high fire areas throughout the service territory.

9 A subsection of those high fire areas, the  
10 definition of which we've developed, we focus on 113 of  
11 those, specifically, which is a small section of the  
12 high fire areas in our service territory, to take  
13 additional actions in preempting and mitigating the risk  
14 of fires there.

15 The challenge with this data, to be transparent  
16 here, and to be clear, is it is dated information.  
17 These fire maps are about ten years old. They don't get  
18 refreshed on a very dynamic basis. And knowing what  
19 we're confronting here, going forward, and how the  
20 changes are expected to accelerate over time, this is  
21 something that we'll need to address going forward, to  
22 make sure we have access to some more dynamic data  
23 across the industry.

24 So, then, what we do with this data is we  
25 reinforce the compilation of this data with some actual

1 field inspections and patrols that we conduct in the  
2 field. So, we have approximately a thousand, about  
3 5,500 circuits that fit within these high fire areas.  
4 We conduct specific patrols by our troublemen and  
5 patrolmen, ahead of the fire season.

6 We also reinforce that with both annual, and  
7 semi-annual, and even quarterly inspections by our veg  
8 management group to ensure that we are meeting the  
9 minimum clearance requires. And, actually, going above  
10 and beyond that, going down to not just primaries, but  
11 also inspecting, and patrolling, and correcting  
12 overgrowth in our secondary part of the system,  
13 especially in those high fire areas.

14 And then, finally, we remove -- we have a  
15 proactive program, we just launched this year, of  
16 removing dead trees, dead shrubs. Not just within our  
17 right of way, but also outside of the right of way that  
18 could impact these lines and potentially trigger or be  
19 an ignition source for a wildfire.

20 And then, finally, we also have implemented,  
21 approximately 15 years ago, what we call Operation Santa  
22 Ana, where we partner with the City, State and County  
23 fire departments throughout our service territory to  
24 proactively patrol these very same corridors. And we  
25 partner up in some pairs, and we do that, really,

1 throughout the summer months. We started about a couple  
2 months ago and we'll continue for the next couple  
3 months.

4           So, those are very -- we take -- effectively,  
5 are pursuing very proactive patrols and inspections in  
6 the field, in addition to the data that we have, to  
7 really better understand what vulnerabilities we have  
8 and be better prepared to mitigate the impacts of  
9 wildfires.

10           So, in addition to these patrols and these  
11 inspections, we've -- and those, by the way, are  
12 captured in a Fire Prevention Plan which we submitted to  
13 the CPUC in late 2012, amongst a number of other  
14 activities that we performed, as well. I think I  
15 hinted, earlier, that we incorporate these very criteria  
16 and these very conditions, extreme conditions in our  
17 design and engineering standards today, but as well in  
18 our construction, and maintenance, and inspection  
19 standards and protocols that we have within the company.

20           We also implement, in addition to these  
21 activities, some specific operational practices and  
22 protocols in the company. And these include having a  
23 fire management, a fully engaged, full time staff  
24 working closely with the various city, county and state  
25 fire agencies to both monitor, and also respond, and

1   become a full time liaison with those agencies to ensure  
2   that we're well-coordinated in pre-staging crews, both  
3   our crews and the 10,000 plus firefighters that we have  
4   available to make sure that we preempt any of these  
5   fires in our service territory.

6           We've also trained our troublemen and our senior  
7   patrolmen, and a variety of other qualified personnel in  
8   the company to be fire watchers. And effectively,  
9   again, identify ahead of time the potential for these  
10   fires.

11           And then, finally, we've implemented, many years  
12   ago, this system operating both in 322, it's an internal  
13   bulletin that we use that effectively puts in place some  
14   operating restrictions in certain conditions. So, we  
15   have the Santa Ana season in Southern California, that  
16   some of you are probably very familiar with. At which  
17   point we operate or we trigger these operating  
18   restrictions.

19           And we also have red flag warnings that are  
20   declared by the National Weather Service or the  
21   Riverside Fire Weather Office, occasionally. And when  
22   those are declared or when we reach those periods of the  
23   year, we effectively turn off the automatic reclose of  
24   our automated recloses or switches that we have in the  
25   field.

1           So in other words, when there's a fault that's  
2 detected in the field during these operating  
3 restrictions, we don't test a line until we fully patrol  
4 the entire line, ensure that we don't contribute to or  
5 make something that is already a bad situation even  
6 worse.

7           So, that's proven to be quite effective for us.  
8 All of these really are about proactively, you know,  
9 staging crews, taking operational measures to preempt  
10 any of these wildfires from occurring in the first place  
11 or detecting them very early.

12           Something that we've just started pursuing is  
13 something very similar, in different ways, to what SDG&E  
14 implemented a few years ago, which is the flame sniffer  
15 technology.

16           And this is effectively a weather station that  
17 we strategically locate on our transmission towers.  
18 This is a pilot that we've just started, it's relatively  
19 new. It not only does what a typical weather station  
20 does do, but it also can detect flames, smoke, elevated  
21 levels of CO2, and ignition sources. And it provides  
22 real-time video of what those may be and it sends an  
23 alarm, if you will, real-time, to the local fire  
24 department, local fire agency, as well as the utility.  
25 Enabling us to really, again, proactively respond to the

1 extent we don't have crews staged there in the area, and  
2 take appropriate measures.

3 And then, finally, we also have adopted, many  
4 years ago, as part of our Bark Beetle project, the  
5 ability to empower qualified field personnel to  
6 temporarily isolate or de-energize a line or a line  
7 segment if field conditions warrant taking such drastic  
8 action.

9 This is a busy slide, again. But, effectively,  
10 really summarizes the various standards, protocols, and  
11 practices that we've adopted in the company that are,  
12 again, designed to deal with these fire threats today.

13 We have taken on some new measures, in 2014,  
14 when the Governor declared a state of emergency. Which  
15 essentially increased or expedited a number of the  
16 measures we already have in place, in addition to taking  
17 proactive steps in ensuring our protective devices have  
18 the proper setting, or installing additional protective  
19 devices in the field where we may have had some  
20 vulnerabilities that were not previously identified.  
21 So, that essentially captures that.

22 And then, finally, just in summary, and most of  
23 the prior speakers already captured many of these  
24 points, we obviously are concerned about the same kind  
25 of climate impact projections that we're witnessing



1 across the nation and across the world. And how that  
2 may impact our customers, the safety of the public, the  
3 reliability of our system in the long run.

4 We do have a resilient system today, that has  
5 been built, that really considers some extreme events.  
6 But we do not have, in our planning projects, in our  
7 planning processes incorporated the long-term impacts  
8 and projections of these weather events.

9 So, as I think as has been pointed out earlier,  
10 where we do believe that we need some increased  
11 collaboration and coordination amongst the different  
12 stakeholders, specifically in the State of California,  
13 working with the various agencies to really consider a  
14 single source of truth, so to speak, looking at  
15 scientific, scientifically-based and consensus-driven  
16 data that will be supported by the Commission, and the  
17 various stakeholders. So that we can, in fact, have  
18 some higher level of confidence and reliability. Even  
19 as uncertain as those forecast may be, on the data that  
20 we will then incorporate in our planning processes to  
21 make sure that we integrate and how we build out the  
22 system, and build in the resiliency.

23 And I think that pretty much captures the  
24 points. Thank you.

25 (Applause)

1           MR. HOGAN: So, the last presentation of the  
2 day. I'll break the trend and deliver it from here.

3           So, thank you for the opportunity to participate  
4 today. And I thank the Commissioners, the agency  
5 leaders and the staff for convening this workshop on  
6 such a compelling topic.

7           PG&E appreciates the opportunity to share what  
8 we're actively doing to address these challenges and in  
9 a way that's serving our customers and our communities.

10          There's a lot of similarities in what my  
11 colleagues talked about that's going on in PG&E, so I  
12 won't duplicate any of what they spoke about.

13          I'm going to start by sharing how we're managing  
14 climate change resilience. A centerpiece of this  
15 strategy is around a multi-year risk assessment that  
16 we're conducting. And I'll also discuss some of our  
17 response to the current California drought.

18          So, as a provider of energy to about 16 million  
19 Californians, you know, we understand our responsibility  
20 both to reduce our carbon footprint, as well as to  
21 address the emerging needs to adapt to changing climate  
22 conditions.

23          Doing so is integral to our ongoing efforts to  
24 provide safe, reliable, affordable and clean energy. At  
25 PG&E, we've been investigating these potential risks for

1 quite some time, over the last several years. And we've  
2 identified a number of potential risks to our business,  
3 including flooding, sea level rise, temperature change  
4 and wildfire risk.

5 And as we work to address these risks, there are  
6 really four aspects to our approach. One is a robust  
7 emergency response plan and procedures, in response to  
8 things like storms and wildfires. And we look to  
9 continue to strengthen those processes.

10 We're actively engaged at the federal, state and  
11 local level on climate change adaptation and resilience.

12 Dr. Zamuda mentioned it earlier, I was proud to  
13 be down in D.C. for the kickoff, as one of the founding  
14 members of the DOE's Partnership for Energy Sector  
15 Climate Resilience. And we really look forward to that  
16 forum as an excellent forum for sharing best practices.  
17 And we look to have that directly inform on our work for  
18 identifying some of our vulnerabilities for extreme  
19 weather and climate change.

20 For some of the longer-term risks, we have a  
21 risk assessment process in place to prioritize our  
22 infrastructure investments.

23 A few folks mentioned earlier today, there's a  
24 lot of competing things for infrastructure investment,  
25 aging infrastructure, cyber security, physical security,

1 adaptation and the like. And so, we've put in place a  
2 fairly rigorous process for that infrastructure  
3 investment.

4 And, finally, we maintain an in-house climate  
5 change science team, a pretty talented one I believe,  
6 which regularly reviews the most relevant scientific  
7 literature and integrates its research into our risk  
8 assessment.

9 So, as part of our Risk Assessment Project, we  
10 pulled together a cross-functional team. It's  
11 conducting a multi-year, holistic assessment of the risk  
12 to PG&E's different natural hazards. And we call this  
13 group the Natural Hazard Asset Performance, or NHAP  
14 group. And it really covers all of our assets,  
15 primarily our electric and gas infrastructure, but also  
16 our real estate structures, as well.

17 And this process is really designed to identify  
18 impacts to our assets and then enable potentially  
19 affected business units to evaluate those risks and  
20 develop the necessary adaptation strategies.

21 A lot of this was progressing in our different  
22 lines of business, but wasn't always with a consistent  
23 set of assumptions. And it's one of the reasons we  
24 pulled together this cross-functional team.

25 So, what do we do here? This slide really shows

1 the structured process we're taking to conduct this risk  
2 assessment. We began this last year and we expect to  
3 complete the assessment of our assets by the end of this  
4 year.

5 We started by identifying a series of natural  
6 hazard scenarios, from flooding, to sea level rise, to  
7 heat storms. Our Climate Change Science Team helped  
8 define these scenarios, drawing on the latest science.

9 We're now in the process of reviewing our assets  
10 against these scenarios to assess which assets may be  
11 affected, so that we can develop the appropriate  
12 response plans.

13 The result will inform on our emergency planning  
14 and response activities, as well, as we continue to  
15 improve those.

16 Certain risks, such as wildfires, and my  
17 colleagues have talked about that. We've already  
18 completed that process. And as I said, assessing these  
19 risks is not new for us. But what is new is that we're  
20 really taking a holistic approach, structured and  
21 encompassing all of our assets, and using one set of  
22 standardized scenarios across all of our businesses.

23 All this fits into our strategic planning  
24 process and this timeline here shows that process. It's  
25 an annual cycle and we use it to define our company's

1 goals and strategies. A key component of that is the  
2 risk and compliance session, which is a key step where  
3 we identify the key risks for the organization and  
4 compliance issues for the business.

5 This NHAP work will fold into next year's risk  
6 and compliance session and will directly inform our  
7 strategy and our execution plans. And we expect our  
8 future scenarios -- our future sessions to assess and  
9 monitor our progress against that.

10 So, here's one of those scenarios, a flood.  
11 This scenario assesses our assets against FEMA's 100-  
12 and 500-year flood zone maps. These maps are the  
13 standard used for flood plan management nationwide.

14 It's difficult to say how frequently the 100-  
15 year storm may be. I know we call it a 100-year storm,  
16 but as we look out, and as many of us saw today, you  
17 know, are teams and others are predicting that in  
18 certain parts of our area the 100-year storm really  
19 could become more of a 1-in-10 year flood event.  
20 Particularly in certain areas, such as the Central  
21 Valley, by 2050. And that's how we're using this  
22 information.

23 At this stage, we've reviewed our assets against  
24 this scenario and are developing our longer-term risk  
25 response plan for our business.

1           We're also partnering to better understand the  
2 risks we face. We recently participated in the Bay Area  
3 Council Economic Institute Report, which forecasted  
4 about a \$10.4 billion impact on the San Francisco Bay  
5 associated with this type of flooding scenario.

6           The storm that would be associated with this is  
7 larger than anything that's hit California in the last  
8 150 years. But again, in terms of scenario planning, it  
9 appears appropriate.

10          So, surviving the storm. Here's a map that  
11 shows the projected flooding from the super storm  
12 report, as well as our substations that are at risk.

13          The report included our estimate that the  
14 disruption of six substations would cause an economic  
15 impact of about \$125 million, and an impact that's  
16 mitigated by some of our redundancy and resiliency in  
17 our system.

18          As many of you know, our substations are  
19 interconnected through the electric grid and typically  
20 play a backup role to one another, to minimize customer  
21 service interruptions.

22          We also have a fleet of more than 20 mobile  
23 transformers that can be dispatched to support efforts  
24 like this or events like that.

25          Next is sea level rise, another scenario that

1 we've developed. And this chart shows the recommended  
2 guidance from our Climate Change Science Teams,  
3 associated with the projected level of sea rise through  
4 the end of this century. The projections are based on  
5 guidance from both the National Resource Council and the  
6 California Coastal Commission.

7           The scenario for our risk assessment is 24  
8 inches, or 2 feet, which you see in the middle there,  
9 rise by 2050. Which is actually at the high end of the  
10 range for that year. So, that's the scenario that we've  
11 picked for sea level rise. So, we reviewed our assets  
12 against this scenario and are developing our longer-term  
13 response plans.

14           Because this is a longer-term risk, we're also  
15 engaging in numerous local studies and initiatives to  
16 learn more. And one example of that is we recently  
17 joined a kickoff event for a major sea level rise effort  
18 underway in San Mateo County.

19           I think just recently, earlier somebody  
20 mentioned the sea level rise planning database, as  
21 required under AB 2516. And we recently responded to  
22 that, as well.

23           Another scenario that we've looked at is heat  
24 storm. Heat storms are another risk that have kind of  
25 been with the electric industry forever. But our



1 scenario here is the July 2006 California heat wave, the  
2 worst heat wave to impact the State in the past 60  
3 years. It lasted almost two weeks. The maximum  
4 temperatures in Fresno were over 105 degrees for 12  
5 consecutive days. And over 110 degrees for five  
6 consecutive days.

7 And similar to the example that was used earlier  
8 for New York City, we weren't getting any relief at  
9 night, either. The min temperatures for five straight  
10 days didn't drop below 80 degrees.

11 So, both in terms of stressing equipment and  
12 customer demand for electricity, those are pretty  
13 significant.

14 So, in the near-term, we have a structured  
15 process to mitigate the impacts of hot weather on our  
16 system. You know, on an annual basis these are things  
17 that we study. We have a pretty sophisticated model,  
18 looking at our forecast, as well as our past summer data  
19 to forecast peak demand, and our system capacity, and  
20 where we have trouble spots.

21 But more broadly, we're investing significant  
22 resources to modernize our electric operations. This  
23 includes automated equipment that dramatically reduce  
24 the time to restore customers, when they do go out.

25 For heat events, our demand response programs

1 play a critical role. We continue to innovate in this  
2 area. I'm showing up there, is a new smart charging  
3 pilot that we have with BMW, that we believe is going to  
4 open up new possibilities for demand response,  
5 especially as electric vehicles become more ubiquitous  
6 in our service territory.

7           So, let's transition a little bit to the  
8 drought. You know, one of the longer-term risks we face  
9 is changing precipitation patterns. And as we know,  
10 we're in the midst of one of the most severe droughts on  
11 record. Almost three-quarters of the State has  
12 experienced either extreme or exceptional drought  
13 conditions.

14           And the last few years our precipitation rates  
15 have been some of the lowest on record. Temperatures  
16 are rising and, as we heard earlier, our snowpack has  
17 diminished.

18           So, in response to this, we're working  
19 vigorously and collaboratively to do our part. We've  
20 developed a Drought Task Force that's driving  
21 partnerships and strategies to help PG&E and the State  
22 respond to the drought.

23           We're coordinating with key partners, like the  
24 Fire Safe Councils, to prevent and respond to wildfires.  
25 We're also aggressively addressing vegetation impacts to

1 our gas and electric infrastructure, similar to some of  
2 the stuff that my colleagues up here spoke about.

3 We're also managing water in our reservoirs so  
4 that clean, affordable hydropower is available during  
5 the peak summer demand periods. One of the options, one  
6 of the things we're doing, that we have, we maintain  
7 dry-cooled power generation. So, our natural gas-fired  
8 plants are dry-cool technology, which uses 97 percent  
9 less water than conventional water cooling systems.

10 We're also significantly reducing water in our  
11 facilities. We exceeded our five-year company water  
12 conservation goal, which was a reduction of over 30  
13 percent over the five-year period.

14 We've recently signed a water sharing agreement  
15 with San Luis Obispo County for our desalinization plant  
16 there to provide water in the case of wildfires in that  
17 area, and they need the water.

18 So, in the near-term, for our hydro operations,  
19 clearly we understand the scope of the challenges we  
20 face here. The Department of Water Resources' annual  
21 snow survey is critical to gauging the snow melt. And  
22 the most recent survey revealed the lowest snowpack  
23 measurement ever recorded, just five percent of average  
24 for that date this year. These conditions obviously  
25 impact our hydroelectric system.

1           Which for us, you know, we're the largest  
2 investor-owned system, hydropower system in the nation  
3 providing safe, reliable and clean energy for our  
4 customers. And hydropower, as many of us know, also  
5 enables to better integrate wind and solar generation  
6 into the grid.

7           In a typical year for us, hydro represents 15  
8 percent of our power. Last year, in 2014, it was only 8  
9 percent, and likely going to be around that or lower  
10 this year.

11           So, we're strategically managing our water  
12 supplies. Clearly, downstream fisheries and downstream  
13 user needs are a key component, as well. And one  
14 example is we're working with the Tuolumne Utilities  
15 District to manage the limited water supplies in that  
16 region.

17           We're also working closely with water agencies,  
18 first responders and regulatory agencies for individual  
19 regions to address the concerns, and develop mitigation  
20 plans for limited water deliveries. And we're  
21 continually analyzing our reservoirs and stream  
22 conditions for the system.

23           Longer-term we continue to collaborate with the  
24 U.S. Geological Survey and the California Department of  
25 Water Resources on research, and developing new models

1 to forecast runoff, to plan for potential snowpack  
2 reductions in the Sierra Nevada Mountains.

3           We're studying Northern California aquifers to  
4 better understand how they may respond to climate  
5 change. And we're embarking on new research with a CEC-  
6 grant-funded project, with the University of California  
7 and DWR to monitor snowpack, climate, soil moisture, and  
8 other factors in the Upper Feather River.

9           And then last, but not least, is we see a more  
10 resilient grid as also being a more sustainable grid, as  
11 well. We've kind of coined the term "the grid of  
12 things" to talk about all these different devices that  
13 are presently connecting to the grid, and will be in the  
14 future. Things like being able to seamlessly combine  
15 rooftop solar, and customer storage, along with consumer  
16 mobile applications, improving energy efficiency through  
17 information and automation. And providing better,  
18 greater visibility and control of the distribution  
19 system, a grid that was designed for one-way power flow,  
20 with all these devices. Creating a two-way power flow  
21 on that system requires more visibility and control.  
22 And we see that as a smarter, more flexible and more  
23 distributed grid will be a more resilient system in the  
24 face of the changing climate, and will continue to  
25 ensure the safe, reliable and affordable power for our

1 customers.

2 So, thank you very much for the opportunity and  
3 I look forward to any questions.

4 (Applause)

5 MR. ALEX: I'm not sure why I get to go first  
6 all the time but --

7 CPUC COMMISSIONER RANDOLPH: Because you're  
8 sitting on my right.

9 MR. ALEX: Okay, so thank you very much for your  
10 presentation. I have a few questions.

11 Diana, you talked a fair amount about risk and  
12 my first question is do you self-insure?

13 MS. DAY: Yes, we do have a self-insure.

14 MR. ALEX: And who bears the cost overall? Does  
15 that go back into rate base? How does that work? How  
16 do you spread the cost of problems, that we'll call  
17 climate-related costs?

18 MS. DAY: Uh-hum, in terms of insurance. I  
19 believe there is a rate component of that. I'm probably  
20 not the best person to address the specifics of that and  
21 I believe we have a pending, open proceeding on that  
22 matter.

23 MR. ALEX: Okay. And do you have -- you talked  
24 about looking at the risks. Do you have curves or, you  
25 know, future cost evaluations that you're projecting out

1 some amount of time?

2 MS. DAY: For some activities, we do. We look  
3 at things on a risk-by-risk basis. And our best  
4 predictive models are around our top risks, which is  
5 what one would expect. Wildfire risk, which I talked  
6 about, where we have a fair amount of data. Around  
7 other risks, such as cyber, and some of our gas systems,  
8 we have fairly good risk data as well. And we're  
9 looking to have similar risk models for other risks  
10 across our system.

11 MR. ALEX: And do you share that with the PUC  
12 and others?

13 MS. DAY: Yes, we do.

14 MR. ALEX: Okay.

15 MS. DAY: There are open proceedings, at the  
16 moment, around risk matters.

17 MR. ALEX: Great. Thank you.

18 Now, for SCE, I was interested in the consensus-  
19 driven data science statement. Is it your view that  
20 that doesn't exist right now?

21 MR. GRIGAUX: Yeah, I think what we're conveying  
22 is that there's a multitude of data sources today, and  
23 there's a lot of science, and a lot of discussion and a  
24 lot of studies being conducted. But I'm not sure that  
25 there is necessarily a consensus on sort of the --

1   there's a consensus, certainly, on the direction we're  
2   going in. But not necessarily on the specific data that  
3   we would need, that would be important for us to be able  
4   to incorporate in our long-term planning activities.  
5   That's really what that statement was referencing.

6           MR. ALEX: Okay, well, I'm sort of obsessed with  
7   data. I've spent 15 years, in various forums, trying to  
8   get a fair amount of data from the utilities, without a  
9   lot of success.

10           So, perhaps we can all agree that we need to  
11   share this data much more robustly.

12           MR. GRIGAUX: Yeah.

13           MR. ALEX: Okay. Now, I appreciated Patrick, at  
14   the end, talking about "the grid of things". A lot of  
15   the presentation, in some ways, was fairly reactive to  
16   the types of, you know, fire, heat and flooding. You  
17   have existing infrastructure and you need to protect it.  
18   Completely understandable.

19           I'm wondering if you take into -- when you think  
20   about "the grid of things", or smart grids, or energy  
21   efficiency, or distribution generation, or demand  
22   response if you're looking at costs of those particular  
23   activities and actions as compared to the climate risks  
24   posed to our existing infrastructure? Anybody who wants  
25   to respond?



1           MR. HOGAN: Sure, I'll start. You know, one of  
2 the things that we talk a lot about at PG&E is  
3 delivering today, enabling tomorrow. And so in a lot of  
4 ways, there are an awful lot of investments that we made  
5 on the grid. Some of the things I talked about on "the  
6 grid of things" that provide some immediate benefits  
7 today, whether it's safety, reliability, or  
8 affordability-related. But then, also, kind of set us  
9 up for the future.

10           You know, one future being, as I said on "the  
11 grid of things", you know, more devices being connected  
12 to the system, really being more ubiquitous.

13           But also with climate change, the aspect of  
14 resiliency is really huge. So, on both of those cases  
15 we're making investments that we're continually  
16 balancing, you know, what's the impact on today versus  
17 how much is it enabling tomorrow, and trying to make  
18 that balance.

19           MR. ALEX: Okay, and my last question for all of  
20 you is looking out ten years at your system, how worried  
21 are you?

22           MR. HOGAN: I'll start. You know, worried is  
23 always in the eye of the beholder. But me, personally,  
24 I do think we are taking the right steps. I think we  
25 have a lot of smart people in the various partnerships

1 that we talked about, with a diversity of opinion and  
2 really helping to decide on what are the things that we  
3 need to work on.

4 So, I think we're getting the right thoughts in  
5 there and I think we're putting together the right plans  
6 to be able to prepare the system for that.

7 So, as I look out ten years, there are  
8 absolutely challenges from a climate perspective, but I  
9 think we're fairly well covered and have the right  
10 direction

11 MR. GRIGAUX: Yeah, from an SCE perspective, I  
12 mean, I would essentially echo what Pat has said. I  
13 mean we are, today, investing a significant amount of  
14 dollars into the system to make it more robust, make it  
15 more resilient. I mean, upwards of \$3 to \$4 billion a  
16 year dealing with a lot of aging infrastructure, but  
17 really designed to prepare us for the future.

18 And as you all know, we've submitted, recently,  
19 our distributed resource plan to prepare for that  
20 smarter grid, the grid of all things, and really enable  
21 a variety of technologies to be able to be fully  
22 integrated through the grid. Which provides, really, a  
23 wider portfolio of solutions to meet the needs of the  
24 customer and ensure a more reliable system, as well as a  
25 safer system for our customers.

1           So, you know, we certainly are concerned with  
2   the direction that the climate is going in. I think,  
3   certainly, these discussions and the engagement that  
4   we're having amongst all these stakeholders and others  
5   in the industry is going to help us better prepare for  
6   that. But a lot of good things are happening, as well.

7           MR. CHO: I will say that there are concerns and  
8   I'd mentioned an example of renewables. And it's not  
9   just renewables, but it's really the diversity of the  
10   energy portfolio, whether it's distributed, rooftop, all  
11   of these things coming together.

12           And for us, for me at least, from a reliability  
13   stand point making sure that the gas is behind that to  
14   support that diversity and that dynamic load.

15           Well, one thing that I feel very confident about  
16   is that this is not an independent topic. What I mean  
17   by that is when we plan today, and before, around system  
18   reliability, system safety, system hardening, these  
19   factors are the things we consider all benefit the  
20   challenges we're talking about with respect to climate  
21   change.

22           I'll give you a simple example. As part of our  
23   Pipeline Safety Enhancement Plan, one of the things that  
24   we've been directed to do is develop a blueprint around  
25   detection. Technology, you know, that we can put in the

1 ground for stress, security issues. That is part of  
2 pipeline safety, but it has a direct benefit to some of  
3 the issues about having a smarter system for  
4 reliability.

5 So, I don't always see it as exclusive. I think  
6 there's a lot already embedded in what we do today.

7 MS. DAY: And I would add, it's hard to answer  
8 that question. It's hard not to be concerned, perhaps  
9 even distressed by the science and what it portends.

10 But in terms of strides that we've already taken  
11 towards resiliency on the electric system, the Borrego  
12 Springs micro grid we think is a great example that can  
13 be replicated in the future. The resiliency efforts  
14 that we've made at San Diego Gas & Electric in terms of  
15 hardening our system, the wood-to-steel program, for  
16 example.

17 There are things we are doing, that we feel very  
18 positive about. I think we feel better about where we  
19 are in wildfires, in terms of our system, today than we  
20 did five or ten years ago. But there's no doubt that  
21 the science is quite concerning.

22 CEC CHAIR WEISENMILLER: I guess I was gonna  
23 follow up with the general question for everyone of  
24 talking about climate or science. What do you disclose  
25 in your SEC filings, in a 10K to your shareholders on

1 the risk of climate change?

2 MS. DAY: There are some references, certainly,  
3 in the risk factor section, which is quite extensive,  
4 that addresses climate change. And also, in our  
5 Corporate Responsibility Report, where we talk in some  
6 detail about the risks associated with climate change.  
7 That's updated every year and a fair amount of internal  
8 work goes into -- an effort goes into ensuring that we  
9 address climate change risk in that filing. Probably in  
10 more detail than our SEC filing.

11 CEC CHAIR WEISENMILLER: Edison?

12 MR. GRIGAUX: I won't be able to really  
13 adequately address the question. I know we have a  
14 corporate focus on the general topic of climate change  
15 and how it impacts the system, and our preparedness to  
16 respond to those changes, generally speaking. I don't  
17 know specifically how we're addressing it in our 10K  
18 filings and that report, so I'll have to get back to you  
19 on that one.

20 CEC CHAIR WEISENMILLER: Yeah, PG&E?

21 MR. HOGAN: Yeah, so multiple ways. A couple of  
22 the key ones are we have an annual Corporate  
23 Responsibility and Sustainability Report, that's  
24 publicly available. And also, our responses to the  
25 Carbon Disclosure Project, which is an international,

1 not-for-profit organization, that requests this type of  
2 information. So, there's various areas, but those are  
3 two of them.

4 CEC CHAIR WEISENMILLER: Yeah, I was going to  
5 ask if each of you could submit to the record, later,  
6 examples of those specific risk assessments you have  
7 done.

8 I guess the next sort of general question is  
9 we've talked earlier about the Scripps scenarios that  
10 are developed for our climate studies. Do any of you  
11 use those risks -- those scenarios for your planning  
12 studies? And if not, why not?

13 Starting with San Diego which, at least, knows  
14 Scripps.

15 MS. DAY: I know we have a variety of different  
16 collaborations with risks. I'm not sure that I know the  
17 study that you're referring to. Although, in  
18 preparation for this, the meteorological folks made  
19 several references to both CEC and Scripps resources.

20 MR. GRIGAUX: I'm afraid I won't be able to  
21 satisfy that question, either, so we'll follow up on  
22 that particular topic.

23 CEC CHAIR WEISENMILLER: Okay, PG&E.

24 MR. HOGAN: So, I think I mentioned in my  
25 presentation, we have an internal Climate Science Team

1 and really looks at all available research that's out  
2 there, all available information, including the Scripps  
3 reports, and is using that to incorporate it into the  
4 scenarios that we've developed.

5 CEC CHAIR WEISENMILLER: It seems like one of  
6 the things that would help the Commissions, going  
7 forward, if we at least have some common set.  
8 Obviously, you can use different values for your  
9 internal planning. But getting to sort of a common  
10 basis for trying to look at some of the evaluations.

11 I think the other question I wanted to ask was  
12 that SMUD made the interesting observation, today, that  
13 one of the things they're doing is trying to capture  
14 infrastructure projects to make sure they can look at  
15 what adjustments should be made to that, considering  
16 climate change.

17 I was trying to understand, in your processes,  
18 how well you're set up as you look at various  
19 investments, which are quite large at this point, to  
20 make sure that we're considering for future-proofing  
21 those?

22 MR. HOGAN: So, I'll start on that one. So,  
23 it's absolutely part of our planning process. That fits  
24 into the answer I gave to Ken, earlier, in terms of  
25 delivering today, enabling tomorrow.

1           A couple of really good examples of that are  
2 three of our key substations, we had work to do in there  
3 to add new equipment, change out gear, and we took that  
4 opportunity to significantly raise that new equipment to  
5 the levels of sea level that I talked about here.

6           So, not something that, you know, that if we're  
7 replacing it today on a like-for-like or building on a  
8 like-for-like, odds are we wouldn't have done that.  
9 But, you know, looking at the science, looking at the  
10 scenarios that we've developed and the input to those  
11 scenarios, that's an example of where, you know,  
12 concrete have changed the project, itself.

13           MR. GRIGAUX: And so, again, long-term horizon  
14 climate impacts are not today as incorporated as we'd  
15 like them to be. But we certainly look at long-term  
16 projections of load and generation distribution and  
17 capacity throughout the system, in addition to our  
18 current understanding of our own vulnerabilities, within  
19 our own system. Capabilities of our own system to  
20 really design a sort of an infrastructural liability  
21 forecast and then prioritize how we make our  
22 infrastructure replacement or low-growth investments  
23 today.

24           So, it's incorporate in that way, but we wish to  
25 move in a direction of incorporating additional



1 scientific consensus-based data to enable us to make  
2 even better decisions going forward, to facilitate that  
3 long-term horizon.

4 MR. CHO: So, you mentioned about investments  
5 and what are we doing to incorporate the future? The  
6 biggest area for the pipelines is around pipeline safety  
7 at this time. And certainly, as I mentioned, we are  
8 incorporating technology that helps to really manage it  
9 in a smarter way. That we're not just reacting, but can  
10 manage it more flexibly.

11 Because the word I often use is that the system  
12 is much more dynamic, not just our system, but the  
13 system that uses the gas.

14 So as an example, SCADA systems, having  
15 technologies where we can talk to valves and control. I  
16 mean, those are things that are part and fabric of what  
17 we're doing as part of pipeline safety, which then  
18 benefits the very things we're talking about today.

19 MS. DAY: And on the electric side, Jimmie  
20 mentioned the recent South Bay Substation. That's a  
21 recent project that we just got through the permitting  
22 process, and it very much incorporated sea level rise as  
23 part of that planning process.

24 CEC CHAIR WEISENMILLER: If we were to try to  
25 take an estimate on when you would have your system

1 fireproofed and ready to deal with sea level rise, I  
2 mean in terms of rolling that out through your  
3 infrastructure, replacing vulnerable substations, you  
4 know, is that five years, ten years? I mean, does  
5 anyone have a sense or a goal of when you're going to be  
6 more or less future-proofed, at least those two?

7 MS. DAY: Yeah, I think for San Diego Gas &  
8 Electric, we're further along on the wildfires because  
9 of recent events.

10 With sea level rise, we are at the phase of  
11 collecting data and comparing our assets, and overlaying  
12 them on our GIS system. For some assets, we know  
13 they're close to the coast, but we're waiting for data  
14 to show.

15 So, my sense is we're not as far along as sea  
16 level rise. I don't have a time horizon for that.

17 MR. GRIGAUX: Yeah, for each of the specific  
18 risks that we've talked about today, I mean I can't  
19 specifically address that question. I mean, we've been  
20 on a \$3 to \$4 billion capital investment program for the  
21 past seven years, in the company, and have replaced, and  
22 upgraded, and hardened a significant portion of our  
23 transmission and distribution system throughout the  
24 service territory.

25 So, I can't quantifiably tell you how far along

1 we are and how much longer it's going to take. But we  
2 do see it as a long-term commitment that needs to be  
3 made to continue down the path that we're on.

4 Not to mention the fact that we need to prepare  
5 and facilitate the modernization of the grid and the  
6 incorporation of all these distributed resources. So,  
7 it's going to be an ongoing journey here for the next  
8 several years.

9 CEC CHAIR WEISENMILLER: PG&E?

10 MR. HOGAN: Yeah, I would -- I mean, I'm being  
11 very candid. This is a long-term journey, so ten years  
12 is probably not within that time frame to be fully  
13 proofed against it.

14 And I think also, you know, my view is over the  
15 next ten years that the industry is going to  
16 significantly change. The advent of distributed  
17 resources and how that impacts the grid, it will improve  
18 the resiliency. It will make kind of big substation  
19 events less impactful to the system than today. And so,  
20 you kind of start to ask yourself the question about,  
21 you know, do you make that substation 100 percent sea  
22 level rise-proof, versus being more resilient to be able  
23 to withstand if the event happens, being able to recover  
24 in different ways.

25 So, that's kind of the math and the logic that

1 we'll be following. But I do think this is a long-term  
2 view here.

3 CEC CHAIR WEISENMILLER: Yeah, my last question  
4 is, so what would be the most appropriate forum for the  
5 State to examine your plans in this area, and provide  
6 some policy guidance?

7 MR. HOGAN: So, I'll start, again. So, I think  
8 that my view again, the path that the CPUC has taken in  
9 terms of building risk, risk identification, and risk  
10 mitigation into the GRC process, I think, is the right  
11 approach.

12 MR. GRIGAUX: Yeah, I would echo that. And we  
13 have, by the way, I haven't spoken to it in my  
14 presentation, adopted a similar strategy at SCE, looking  
15 at a prioritized risk-informed decision making process,  
16 looking at a variety of criteria that drive our  
17 investments going forward and is in alignment with where  
18 the Commission has been going for the past several  
19 years.

20 So, that is a key forum. There's several OIRs,  
21 which I won't touch on here, that are really touching on  
22 many of these topics today. So, I think those are other  
23 forums that we can leverage as well, in addition to the  
24 other collaborative opportunities with the CEC and other  
25 key parties.

1           MR. CHO: I want to just echo what Pat said, and  
2 that is the GRC Risk-Based framework, I think is the way  
3 for us to address it. That's the venue.

4           Part of what we have to also factor in is, you  
5 know, what is the right investment? What's the right  
6 risk-to-cost assessment we have to make?

7           Certainly, if we put a station in five years  
8 ago, you know, do we want to go in and take that asset,  
9 which is a major investment, and build a new one? I  
10 mean, these are all considerations we have to take from  
11 a risk-cost perspective.

12           So, I think the Commission's Risk-Based GRC  
13 approach is the right one.

14           MS. DAY: And I would just add to that, that we  
15 find it immensely helpful to have forums, such as this,  
16 where we have the CPUC, the CEC and the Governor's  
17 Office all together, so that we can all get in the room  
18 to address these issues together. We find that quite  
19 useful.

20           CPUC COMMISSIONER RANDOLPH: I had a couple of  
21 questions. PG&E, Patrick, you mentioned your Climate  
22 Change Research Team. Is that -- do you have folks on  
23 that team that are focused on adaptation, specifically?  
24 And do you have opportunities for them to interface with  
25 the rest of the company to have these kinds of

1 conversations?

2 MR. HOGAN: So, it's a team, they're actually  
3 housed in our Advanced Technology Center. So, they have  
4 day jobs, so this isn't their one and only job. But,  
5 you know, it's a group of folks who have the skill set,  
6 and we've pulled them together. And we've had them in  
7 place for several years, now.

8 And part of their role is to, you know, keep  
9 tabs on the science as it's developing, and then help us  
10 to develop the scenarios that we've developed. So, it's  
11 not a full time job, just looking at climate adaptation,  
12 but it's a role and we weave them into a lot of our  
13 process teams.

14 CPUC COMMISSIONER RANDOLPH: And do any of the  
15 other companies have anything similar that you use,  
16 internally, to make sure you have the right information  
17 flowing?

18 MS. DAY: We have -- it has a different name,  
19 but similar to what PG&E has. It's a cross-functional  
20 team. We have meteorological scientists, and they're  
21 not hived off in a vacuum. They're closely integrated  
22 with our operational units, with our risk team.

23 We have 15 different departments that meet on a  
24 regular basis, led by our Climate Change Team, to  
25 address these types of issues.

1           MR. GRIGAUX: Yeah, we have a variety of groups,  
2 internally, that are looking at different aspects of  
3 this topic. Again, it's one that is still new for us,  
4 within Southern California Edison, in terms of  
5 proactively engaging the community and making sure that  
6 we develop a strong strategy going forward on how to  
7 adapt to these climate changes. And making sure that we  
8 sort of line up with the right science, again, and the  
9 right groups that can help us move this thing forward.

10           But, you know, we do have an Advanced  
11 Technologies Group that is looking at various  
12 technologies and the impacts of these types of changes  
13 on our system. We have our engineering group that is  
14 also incorporating that into its system designs today,  
15 system planning.

16           Not necessarily looking at long-term climate  
17 change impacts but, again, considering climate today and  
18 how it's impacting our system performance. And there  
19 are a variety of other groups looking at it. But not to  
20 the extent that we want to move forward to.

21           CPUC COMMISSIONER RANDOLPH: And so, do you  
22 anticipate that -- because you've mentioned a couple of  
23 times that you want to do more in this area. So, do you  
24 anticipate you will be doing more work in this area to -  
25 -

1           MR. GRIGAUX: Yes. Yeah, so we have, as was  
2 referenced earlier today, we have engaged with the DOE  
3 and with the CEC, and just more recently with the  
4 Lawrence Berkeley National Labs in these types of  
5 efforts. So, yes, ma'am.

6           CPUC COMMISSIONER RANDOLPH: Okay. And then I  
7 had a quick question for SDG&E about your Santa Ana Wind  
8 Wildfire Threat Tool. Is that something that's  
9 adaptable to looking at wind issues in other areas, or  
10 is it specifically just looking at wildfire?

11          MS. DAY: Well, it's specific to Santa Ana  
12 Winds. It ranks Santa Ana conditions, basically on a 1  
13 to 5 scale.

14          Is your question whether it could be  
15 geographically expanded or for other types of climate  
16 conditions?

17          CPUC COMMISSIONER RANDOLPH: No, I was just  
18 thinking in terms of providing data for other issues,  
19 like wind production, things like that. I mean, is it a  
20 tool that can be kind of modified for other purposes,  
21 either for that particular weather impact or using sort  
22 of the same methodology in other areas?

23          MS. DAY: I think some of the underlying data  
24 could be used. I'm not sure whether the index, itself,  
25 could be easily extrapolated. But I'd be happy to ask



1     that question of the team and circle back.

2                 CPUC COMMISSIONER RANDOLPH:   And then, kind of  
3     following up on Ken's question about data.   It seems  
4     like a key issue in this area as you, hopefully, kind of  
5     ramp up your work in adaptation is sort of, you know,  
6     what are the opportunities to share that data with  
7     public agencies and, you know, both at the state and  
8     local level in terms of planning?   And have you thought  
9     about that kind of differently in terms of thinking  
10    about long-range planning?

11                MR. HOGAN:   So, I'll start.   Obviously, a key  
12    area for collaboration and I think some of the things  
13    DOE and CEC lend themselves to that.

14                The balance we always have to think about is the  
15    security of the system, as well, and I think we all  
16    recognize both cyber security and physical security  
17    threats are also increasing.   And so, you know, being  
18    quite careful on where our assets are and the  
19    vulnerabilities of our assets is a key balancing act,  
20    and any time we're thinking about sharing data.

21                So, as long as we have the right controls in  
22    place, you know, there's definitely areas where we've  
23    done that.

24                MR, GRIGAUX:   Yeah, I guess I'm going reinforce  
25    with you the point Pat made, maybe just add a couple of

1 thoughts. I mean, the world that we're living in is  
2 changing in many ways. And, clearly, physical and cyber  
3 security threats is always a consideration for the  
4 utility, and one that we have to manage carefully.

5           That being said, we have all the right  
6 stakeholders in this room, plus a few others that are  
7 not necessarily here today. And so, it's just a matter  
8 of getting together and trying to figure out a way to  
9 mitigate those risks, address those concerns, ensure the  
10 proper confidentiality is maintained. And then share  
11 the right data that needs to be shared, to make sure  
12 that we can properly project the impacts of these  
13 climate changes on our system, identifying the  
14 vulnerabilities and being able to move forward with some  
15 good data.

16           MS. DAY: For our companies, in terms of the  
17 meteorological data and the data from our weather  
18 systems, we do share that fairly broadly. We certainly  
19 share it with researchers. And we publish a lot of our  
20 results to the public.

21           In terms of customer data, the issues that were  
22 just identified are ones that need to be addressed.

23           CEC CHAIR WEISENMILLER: I just had to follow  
24 up. I was going to ask you to submit for the record,  
25 later, how many climate scientists you have and how many

1 of those are focused on adaptation.

2 CPUC COMMISSIONER RANDOLPH: Commissioner  
3 Douglas, did you have any?

4 CEC COMMISSIONER DOUGLAS: No, no questions.  
5 Thank you.

6 CPUC COMMISSIONER RANDOLPH: Okay. Okay, we  
7 have three blue cards for public comment, is that  
8 correct?

9 MS. MC BRIDE: For the record, my name is  
10 Demetra McBride and I serve as the Director of the  
11 Office of Sustainability and Climate for the County of  
12 Santa Clara.

13 By way of a very, very brief foundation for this  
14 question, the County has just completed Silicon Valley  
15 2.0, which was funded by the Strategic Growth Council.  
16 It's a regional climate adaptation platform.

17 The key resources produced under that are a  
18 nine-sector climate adaptation implementation guidebook,  
19 as well as a GO economic tool for decision support  
20 analysis.

21 The tool is a little bit unique in that it  
22 doesn't simply map the climate variable impacts, but we  
23 also went through an extensive period of mapping all of  
24 the key infrastructures, as well as critical assets  
25 within the community.

1           And then, the tool also has an economic  
2   assessment capacity to it, so that we can take a  
3   location, we can take a variable, we have two climate  
4   horizons. And then, you can also look at the fiscal,  
5   the revenue and the operational economic assessment  
6   impacts of those scenarios.

7           So, with regard to that and the question about  
8   data, it would be -- we had a varied sense of technical  
9   advisory committee, and PG&E actually served on that for  
10   two years.

11           In terms of data, knowing exactly where the  
12   assets and the infrastructure is located is one thing.  
13   But it's really, really important in terms of long-term  
14   planning to know what the sensitivity is, what the reach  
15   is of those assets.

16           Because you may have an asset in one area that  
17   serves a distant, but critical asset, in another area.

18           That information has been a challenge to obtain  
19   and we think that it would help not only with the near-  
20   term planning, but it would also help with long-term  
21   planning, as well as smart grid, and the "grid of  
22   things" planning. Thank you.

23           CEC CHAIR WEISENMILLER: Thank you.

24           Louis Blumberg.

25           MR. BLUMBERG: Thank you, Mr. Chair and members

1 of the panel today. I'm Louis Blumberg. I direct the  
2 California Climate Change Program for the Nature  
3 Conservancy.

4 I want to commend you for holding this workshop  
5 today. I think integrating this discussion and these  
6 activities into the IEPR is just what needs to happen.  
7 Climate change needs to become part of standard business  
8 practice. And I think we're hearing, today, some  
9 progress in that regard.

10 And I remember hearing that you convened, Mr.  
11 Chairman, at the CEC several years ago, about climate  
12 impacts on the energy sector. So, I think we can see  
13 today that there's been progress in moving from impact  
14 analysis to planning and some policy, as Dr. Bedsworth  
15 talked about with the Executive Order. And now,  
16 beginning to be action.

17 And I think that's where things need to go. We  
18 need more action in this realm and we're geared up to do  
19 that. And there is some good stuff underway.

20 I wanted to point out and echo what Dr.  
21 Bedsworth said about the role of natural resources, and  
22 the Executive Order directs agencies that natural  
23 infrastructure solutions should be prioritized. This is  
24 something that I mentioned to the committee several  
25 years ago about the role of nature, and the connection

1 of nature. And we're still a little frustrated with how  
2 the EPIC Program worked out, where we have climate  
3 research for the energy sector under EPIC, and climate  
4 research for the gas sector is somewhere else. And  
5 climate energy for the environment is somehow in the  
6 Fourth Climate Assessment.

7 And I know there's some effort to harmonize that  
8 and I would encourage you to do that. And I would also  
9 encourage you to look at the scope of EIPC because, as  
10 we've heard today and we hear repeatedly, there is an  
11 inextricable connection between natural resources and  
12 our energy system when it comes to climate change.

13 And using nature provides multiple benefits. It  
14 gets at those kind of winds that we've heard about. And  
15 a couple of quick examples.

16 We have, with water in the natural resources, we  
17 know that there's a water/power nexus. And so, the  
18 drought is affecting the energy demand because of the  
19 lack of water and the need to pump more water there.

20 With forests, we've heard a lot about fire. And  
21 I think I would encourage you not to go for proofing the  
22 forest. I don't think we're going to get to a fireproof  
23 forest. And so, we've learned over the years that it's  
24 the congruence of multiple extreme events.

25 It's, for sea level rise, what would the high

1 tide, with the series of storms repeated over days, the  
2 kinds of extreme events that are really going to  
3 overwhelm us.

4 And the kind of efforts that would be needed to  
5 proof something could be a lot of concrete could encase  
6 things in ways that we would not like to see, when we  
7 lose that natural benefit there. So, that's a note on  
8 that.

9 In terms of the coastal impacts and sea level  
10 rise, the Nature Conservancy has worked with  
11 stakeholders in Ventura County to develop a model, a  
12 tool there to look at future sea level rise.

13 The City of Oxnard looked at that and decided to  
14 put a moratorium or recommend a moratorium on power  
15 plant siting there. So, that's another application of  
16 that and that's yet to be resolved. But the people are  
17 paying attention to that.

18 So, there's a nexus there and the natural  
19 solution there would be to create more space, to do  
20 managed retreat, to use wetlands to buffer the coast.  
21 So, there's a role for wetlands, there's a role for  
22 water, there's a role for forests.

23 For endangered species, we have salmon and  
24 endangered species there in the siting of hydro  
25 facilities.

1           So, there is that strong nexus between natural  
2 resources and the energy sector when it comes to climate  
3 change and there's an opportunity to really pull that  
4 together.

5           And the last point, I would just follow on what  
6 Mr. Franco said about the atmospheric rivers. It  
7 reminds us that this is a global program, and a global  
8 problem that needs global solutions.

9           And a recent study from Princeton showed that  
10 the removal of the forests in the Amazon region would  
11 reduce the amount of precipitation that reached  
12 California through the atmospheric rivers. So, it's all  
13 connected.

14           An I would applaud your effort here, today, and  
15 encourage you to keep pushing them to do more. We all  
16 need to do more. Thank you.

17           CEC CHAIR WEISENMILLER: Thank you.

18           MS. MATHEWS: Before we start, I just wanted to  
19 make one short announcement. If there's anyone else in  
20 the room that wants to make a comment, you can still  
21 fill out a blue card and bring it to me.

22           And a reminder for anyone who is joining us by  
23 WebEx, that all's they have to do is raise their hand,  
24 and we will get their name so we can put them in a queue  
25 to start, as soon as finish public comment in the room.



1 CEC CHAIR WEISENMILLER: Great. Thank you.

2 Ben Davis.

3 MR. DAVIS: Thank you, Chairman and all of you  
4 for allowing me to speak before you today.

5 I wanted to say, first, I wish there was some  
6 magic way that I could take a transcript of this hearing  
7 and send it back to your counterparts in 1985, when the  
8 science showing we were heading this way already  
9 existed, and we weren't taking it seriously enough.

10 The politics of why we haven't taken it  
11 seriously enough, and it took us 30 years to get to a  
12 hearing like this is very scary. And I hope that it  
13 doesn't stop us from making progress on these important  
14 world issues in the future.

15 But I have a feeling that if I were alive 30  
16 years from now, I'd be saying the same thing to a group  
17 like you, now.

18 That being said, I'm here to talk about nuclear  
19 power. I looked at your comments that were submitted  
20 prior to this, and the only comments you have are  
21 dealing with nuclear power and suggesting, basically,  
22 that nuclear power is an alternative source of energy  
23 that we can use to prevent global warming, or to stop  
24 global warming from getting worse.

25 I'm an opponent of nuclear power and I hope we

1 don't go that direction. But I was surprised to not see  
2 any mention of it or discussion of it on the agenda,  
3 today, because it is quite a prevalent issue globally  
4 right now. The whole idea that we have to use nuclear  
5 power to stop global warming is very prevalent and it's  
6 really dividing the environmental community.

7 Chairman Weisenmiller is aware that I've been  
8 attending IEPR meetings on nuclear power and carefully  
9 balancing the risks that you had mentioned at the  
10 beginning of the meeting, the risks and benefits of it,  
11 and trying to concentrate on the risks. And getting  
12 more information about the risks.

13 Now, that risk/benefit balance is going to be  
14 changing over the next 10, and 20, and 30 years as we  
15 face these issues that we're discussing today.

16 One of the reasons I'm here today is I have not  
17 been able to get information, that was brought up at the  
18 last Energy Commission hearing, on those risks from the  
19 Independent Peer Review Panel, which was appointed or at  
20 least started by the Public Utility Commission.

21 I was told by the Chair of the Independent  
22 Review Panel, in answering Chairman Weisenmiller's  
23 questions during that hearing, that they're going to  
24 have, and this is on the public record for that hearing,  
25 that they're going to have public meetings with PG&E to

1 discuss earthquake risks that the Independent Peer  
2 Review Panel couldn't -- didn't have information enough  
3 to discuss at the hearing. He couldn't answer your  
4 questions at that time and said they were having these  
5 public hearings within a few months.

6           They haven't had them and I started checking the  
7 day after that meeting to try to be part of those public  
8 hearings. I can't get any answers from anybody about  
9 when those hearings are going to take place.

10           I've contacted the Public Adviser's Office.  
11 They've not responded to my e-mails. I explained that  
12 the Chair of the Independent Peer Review Panel had told  
13 me these things and told me to contact the PUC. I can't  
14 get any information on this.

15           And I'm hoping that somehow, by appearing here  
16 today, with the people who are in charge of these  
17 things, I can get some aid in getting answers to this  
18 question about when the Independent Peer Review Panel  
19 will have these public hearings with PG&E on the  
20 earthquake issues concerning Diablo Canyon.

21           CEC CHAIR WEISENMILLER: Well, thanks for being  
22 here. I would note that one of the things that we've  
23 docketed on our website is a letter from President  
24 Picker, to PG&E, listing a number of issues they should  
25 deal with, one of which is that one.

1           MR. DAVIS: I'm not aware of that letter. But I  
2 will certainly look for it. Thank you for bringing it  
3 to my attention.

4           CEC CHAIR WEISENMILLER: Sure.

5           MR. DAVIS: Can I expect any follow up on this,  
6 now that I've brought this to your attention, that I'm  
7 not getting any responses from the PUC about these  
8 meetings or is there some way that I should follow up on  
9 it.

10          CPUC COMMISSIONER RANDOLPH: Why don't you leave  
11 your name and contact information and I will get the --  
12 I'll talk to the Public Adviser's Office.

13          MR. DAVIS: Great. Thank you very much.

14          CEC CHAIR WEISENMILLER: Okay, we now have --  
15 let's see, I'm not sure I can really do justice to the  
16 name. But why don't you come on up and introduce  
17 yourself.

18          MS. MAZZACURATI: The blank usually precedes my  
19 appearance. My name is Emily Mazzacurati. I am with  
20 Four Twenty-Seven. I'm the founder of Four Twenty-  
21 Seven. We're a climate adaptation and risk analysis  
22 firm based here, in the Bay Area.

23                I wanted to offer just a few comments related to  
24 some of the issues that were raised today, since we live  
25 and breathe those questions day in and out. And thought

1 I might be able to provide a few additional thoughts.

2 First, in referring to the Executive Order 3015,  
3 referenced by Dr. Bedsworth, I wanted to highlight the  
4 fact that it calls for an analysis of the economic  
5 impacts across sectors of climate change. And I think  
6 that's a very relevant thing to keep in mind for the  
7 energy sector.

8 Thinking, in particular, of the example that was  
9 set by Entergy along the Gulf Coast, and the analysis  
10 that they did of climate change, and they're own  
11 vulnerability, and now that could impact the entire  
12 economy and communities of the Gulf Coast. In thinking  
13 about when the power goes off, what are the impacts on  
14 the community? And I wanted to point that element.

15 A totally different topic, related to public  
16 health, which Kathleen Ave raised in her presentation,  
17 earlier this morning, comparing the initiatives that are  
18 going on across the country and mentioning, in  
19 particular, healthcare without harm.

20 We happen to work very closely with a group and  
21 with the Healthcare Council of Climate Change, with a  
22 set of hospitals, to help them understand how climate  
23 change is going to impact hospitals.

24 And, interestingly, one of the key issues that  
25 we're running into is being able to provide them good

1 information and data on the vulnerability of the grid  
2 that they depend on. And that's true in California and  
3 in other states, as well. And really being able to  
4 leverage the data that has been developed by national  
5 labs, like Oakridge Lab, and used in the DOE study on  
6 grid vulnerability to provide information that's useful  
7 to the end-users.

8           And so, I think thinking about how the data that  
9 the end-users need is very different from the data that  
10 the utilities and the national labs need for their own  
11 analysis, really opens the door to the ability to share  
12 some of this information.

13           And that takes me to my third point, having to  
14 do with how do we share the vulnerability assessments  
15 with the community, without putting anything at threat  
16 with regard to cyber security?

17           And I think if you think of what the end-user in  
18 those communities really need, it's not the details of  
19 where the facilities are, and what threats under what  
20 scenario. Any kind of rating or high-level assessment  
21 can already give them a lot of elements to help them  
22 plan for which one of their own assets that depend on  
23 electricity, which is everything, for which one of their  
24 own assets they need to plan or prepare for outages, or  
25 runouts, or any other kind of other vulnerability.

1           So, I think establishing this distinction  
2 between the amount of detailed data that's needed for  
3 vulnerability assessment by a technical organization,  
4 like a utility, versus the high-level directional  
5 pointers that are really all that's needed for the end-  
6 users in terms of adaptation decision making really  
7 opens the door for better information sharing.

8           Thank you.

9           CEC CHAIR WEISENMILLER: Thank you. I was going  
10 to note that last Friday, some of us were in a similar  
11 workshop, dealing with long-term scenario planning. And  
12 so, if you have some specific ideas, I'm sure Guido  
13 would love to get those suggestions on sort of the  
14 planning part.

15           The good or bad news is California is in a  
16 seismic area, so we have had requirements since the 80s  
17 for hospitals, in terms of backup power.

18           And I was just going to say, on a final point,  
19 one of the things that I thought certainly was a good  
20 message to our utilities here, was SMUD's message today  
21 that as they do their planning, they try to reach out to  
22 the community on helping the community-wide effort to  
23 come to grips with climate change.

24           So, of course, I'm hoping all four -- all three  
25 of our utilities here do that, also.

1           So, thank you.

2           MS. MAZZACURATI: Thank you.

3           CEC CHAIR WEISENMILLER: Is there anyone else in  
4 the room?

5           MS. MATHEWS: We do have one comment from Dr.  
6 Robert Green, on WebEx.

7           CEC CHAIR WEISENMILLER: Sure. Please go ahead,  
8 Dr. Green.

9           We might be having some audio/visual issues.  
10 Perhaps if you could e-mail your comment to our Public  
11 Adviser, she could read it into the record?

12          DR. GREEN: Thank you.

13          MS. RALFF-DOUGLAS: Do you want to do your  
14 closing comments and if the gentleman e-mails, we'll  
15 read it in and keep it in the record. But in the  
16 meantime you can do --

17          CEC CHAIR WEISENMILLER: Sure. And, actually,  
18 let's start with the announcement of when written  
19 comments are due?

20          MS. MATHEWS: If we can advance to the last  
21 slide, all of that information, the written comments  
22 will be due August 10th. But all of the information is  
23 on the very last slide.

24          CPUC COMMISSIONER RANDOLPH: Okay. Yeah, are we  
25 ready for that. Okay.



1           Well, thank you all for participating in this  
2 workshop. I thought it was very helpful. I am kind  
3 of -- the utility presentations talked a lot about  
4 things that were in progress, so I hope that that  
5 progress will maybe happen at a quicker pace and maybe  
6 you can share a little bit more about what's happening  
7 in the future.

8           The urgency that we started with this morning,  
9 with the first speaker, I think was instructive for all  
10 of us to kind of get moving and get this work done.

11           And so, I will ask my colleagues if they have  
12 any other closing comments?

13           CEC CHAIR WEISENMILLER: Well, I also would like  
14 to thank everyone for their participation today. I  
15 think that's probably one of the key challenges we all  
16 face is that the -- we are disturbing the climate in  
17 ways which are unpredictable. And I think that the  
18 question of saying, well, what are the implications of  
19 that -- you know, this is a relatively serious  
20 experiment that we're doing.

21           And I think we need to prepare and we need to  
22 prepare quickly, you know. And again, I think, as was  
23 pointed out, I think every year we've had an IEPR  
24 workshop on adaptation or on climate, at least. And I  
25 would note that of all of our IEPR workshops, this is

1 one of the rare -- the climate ones are always ones  
2 where there is applause after presentations. Normally,  
3 that doesn't happen, for those of you who haven't  
4 attended the other workshops.

5 So, anyway, that's partly from the scientific  
6 community. But we have to really be reaching out to our  
7 communities, to our citizens about the seriousness of  
8 the issues and how we have to get ready.

9 MR. ALEX: So, usually, we think it's a good  
10 thing when California has, you know, every kind of  
11 environment and habitat. In this case, we also have it  
12 all. We've got sea level rise, and snowpack problems,  
13 and heat problems, and health issues, and forest fires  
14 and, you know, the whole set of plagues.

15 And that creates a massive set of challenges.  
16 And the utilities are facing many of them. So, we very  
17 much appreciate the description of and the efforts by  
18 the utilities to address this.

19 I do have a couple of comments. One on data.  
20 Again, I'm sort of obsessed, but I have spent many, many  
21 years hearing the same story that utilities would like  
22 to share the data but, you know, we have this balance we  
23 have to do. And, therefore, in virtually every instance  
24 my view is that we have not gotten the data that we  
25 need.

1           LADWP, to its credit, has shared a massive  
2 amount of data with UCLA and the world has not come to  
3 an end.

4           So, I really, really want to move us forward on  
5 sharing of data, with protecting customer and private  
6 information. It is absolutely doable and we need to do  
7 it.

8           And, particularly, in the climate adaptation  
9 world, as one of the commenters said, we can do this at  
10 a high level, which will give us quite a lot of data and  
11 important information that we need to share.

12           A lot of people underscored how important it is  
13 to work collaboratively. I think we absolutely believe  
14 that. I think the State, the utilities, NGOs,  
15 everybody, we are in this together and we rise and fall  
16 together on this. So, I hope we can continue our  
17 efforts along those lines.

18           California has probably started more slowly on  
19 adaptation, certainly, than on emission reduction. And  
20 I'm among them. But now that we're moving down this  
21 road, I think we have the ability and the will to lead  
22 and I think that we will. So, thank you very much for  
23 participating today.

24           CPUC COMMISSIONER RANDOLPH: Commissioner  
25 Douglas?

1           CEC COMMISSIONER DOUGLAS: You know, I'll just  
2 be very brief. I'd like to express my appreciation to  
3 all of the speakers and presenters today. Today has  
4 been an extremely informative day. And it is  
5 interesting, we did go through a trajectory in the day  
6 from the kind of urgency of the first speaker, and then  
7 the sense of what can be done, what is being done.

8           And I think that we -- you know, we are making  
9 progress. This workshop wouldn't have happened ten  
10 years ago. It didn't happen ten years ago. And we can  
11 see that there's a lot of movement, interest, now, as  
12 well as, of course, the State's very strong leadership  
13 in mitigation, in reducing greenhouse gas emissions.

14           You know, I really think the actions that we  
15 take today in planning for, and dealing with, and making  
16 decisions informed by our understanding of climate  
17 science and the need to find practical ways to handle  
18 the changes that are occurring in California are going  
19 to have a huge impact on people's lives in this State.  
20 Not only in the long term, but in the near term.

21           So, I do think it's really important that we go  
22 from ideas to action sooner, rather than later, in this  
23 area.

24           So with that, again, I appreciate everyone's  
25 work in putting this together.

1 CPUC COMMISSIONER RANDOLPH: Thank you. Is  
2 there anything else we need to do, Kristin?

3 All right, thank you, everybody for  
4 participating and enjoy the rest of your afternoon.

5 (Thereupon, the Workshop was adjourned at  
6 4:11 p.m.)

7 --oOo--

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of September, 2015.

A handwritten signature in black ink that reads "Juliana Link". The signature is written in a cursive style and is positioned above a horizontal line.


Juliana Link  
CER-830

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of September, 2015.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520