

DOCKETED

Docket Number:	16-BUSMTG-01
Project Title:	2016 Business Meeting Transcripts
TN #:	211489
Document Title:	Corrected Transcript of 04/13/16 Business Meeting
Description:	*** This Document Supersedes TN 211189 ***
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	5/16/2016 10:28:57 AM
Docketed Date:	5/16/2016

BUSINESS MEETING
BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:)	Docket No:
)	16-BUSMTG-01
<i>Business Meeting</i>)	
<hr/>)	

CALIFORNIA ENERGY COMMISSION
THE WARREN-ALQUIST STATE ENERGY BUILDING
ART ROSENFELD HEARING ROOM - FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA 95814

WEDNESDAY, April 13, 2016

10:00 A.M.

Reported by:
Susan Palmer

APPEARANCES

Commissioners

Robert Weisenmiller, Chair
Karen Douglas
Andrew McAllister
David Hochschild
Janea Scott

Staff Present:

Rob Oglesby, Executive Director
Kourtney Vaccaro, Chief Counsel
Alana Mathews, Public Adviser
Cody Goldthrite, Secretariat
Linda Barrera, Lead Counsel
Lisa DeCarlo, Staff Counsel

Agenda Item

Lon (Leonidas) Payne	2
Heather Raitt	3
Rodolfo Orozco Beas	4
Peter Strait, Linda Barrera	5
Rhetta deMesa	6
Jacob Orenberg	7
Andre Freeman	8
Thanh Lopez	9
Akasha Khalsa	10
Elizabeth Hutchison	11
Erik Stokes	12
Erik Stokes	13
Diana Gonzalez	14
Bradley Meister	15
Sonya Ziaja	16
Felix Villanueva	17
Nicholas Blair	18
Joshua Croft	19

Others Present ((inaudible) Via WebEx)

Interested Parties

Thomas E. Enslow, Esq., California IBEW/NECA LMCC	5a, 5b
Aaron Klemm, CSU Chancellor's Office (letter)	5a
Tom James, Intelligent Efficiency (letter)	5a
Gene Thomas, Ecology Action	5a, 5b
(inaudible)Mostafa Kashe, L.A. County Dept. of Public Works	
5a	
Don Link, Controlled Energy	5a, 5b
(inaudible)Rick Brown, TerraVerde Renewable Partner	
5a	
(inaudible)Scott Randolph, Contractor	
5a	
(inaudible)Don Link, Controlled Energy	
5a	
Greg Mahoney, City of Davis	5a
(inaudible)Mike Stone, NEMA	
5a, 5b	
(inaudible)Leslie Kramer, Stanford University	
5a, 5b	
(inaudible)Matt Tracy, Enlight Inc.	
5b	
(inaudible)Leslie Kramer, Stanford University	
5a, 5b	
Peter Christensen, ARB	7
Sekita Grant, Greenlining	7
Bonnie Holmes-Gen, ALA California	7
Eileen Wenger Tutt, CalETC	7
Tim Carmichael, SoCalGas	7
(inaudible)Sekita Grant, Greenlining Institute	
7	
(inaudible)Matt McClory, Toyota	
7	
Dedrick Roper, ChargePoint EVSE	9
(inaudible)Marcelo Poiriar, CPUC	
9	
Representative, Recargo - PlugShare	9
(inaudible)Erik Yan, EV Connect	
9	
(inaudible)David Zoldoske, Fresno State	
14	
Jason Anderson, Cleantech San Diego	14
Andrew Coleman, Electric Power Research Institute	17

I N D E X

	Page
Proceedings	8
Items	
1. CONSENT CALENDAR	8
a. GWF TRACY COMBINED-CYCLE POWER PLANT	
b. GWF HANFORD EMERGENCY PEAKER POWER PLANT	
c. GWF HENRIETTA PEAKER POWER PLANT PROJECT	
d. RIGHT-ENERGY TITLE 24 2016 VERSION 2.0 RESIDENTIAL COMPLIANCE SOFTWARE	
e. CITY OF SANTA MONICA	
f. LAS GALLINAS VALLEY SANITARY DISTRICT	
g. LINDE, LLC	
h. HYGEN INDUSTRIES, LLC	
i. HYGEN INDUSTRIES, LLC	
2. ENERGY COMMISSION COMMITTEE APPOINTMENTS	8
a. POMONA REPOWER PROJECT	
3. ORDER INSTITUTING INFORMATIONAL (OII) PROCEEDING	10
4. CLEAN ENERGY JOBS	14
5. 2016 NONRESIDENTIAL COMPLIANCE MANUAL UPDATE	
a. LIGHTING ALTERATION SUBCHAPTERS AND MINOR CLARIFICATIONS	24
b. 2013 NONRESIDENTIAL LIGHTING ALTERATION	65
	4

COMPLIANCE OPTION

6.	DRIVING TO CLEANER TRANSPORTATION WEBPAGE	108
7.	2016-2017 INVESTMENT PLAN UPDATE FOR THE ALTERNATIVE AND RENEWABLE FUEL AND VEHICLE TECHNOLOGY PROGRAM	84
8.	UNIVERSITY OF CALIFORNIA, IRVINE	113

I N D E X (Cont.)

9.	DC FAST CHARGING INFRASTRUCTURE FOR CALIFORNIA'S NORTH-SOUTH CORRIDORS, GFO-15-601	116
	a. NRG EV SERVICES LLC	
	b. RECARGO, INC.	
	c. NRG EV SERVICES LLC	
	d. CHARGEPOINT, INC.	
	e. CHARGEPOINT, INC.	
	f. CHARGEPOINT, INC.	
	g. EV CONNECT, INC.	
	h. EV CONNECT, INC.	
	i. EV CONNECT, INC.	
10.	QUANTITATIVE BIOSCIENCES, INC.	128
11.	ITRON, INC. WHICH WILL DO BUSINESS IN CALIFORNIA AS IBS	131
12.	PUBLIC INTEREST ENERGY RESEARCH 2015 ANNUAL REPORT	134
13.	ELECTRIC PROGRAM INVESTMENT CHARGE (EPIC) 2015 ANNUAL REPORT	137
14.	REGIONAL ENERGY INNOVATION CLUSTERS, GFO-15-306	139

- a. CLEANTECH SAN DIEGO ASSOCIATION
 - b. PHYSICAL SCIENCE INNOVATIONS INC.
 - c. CALIFORNIA STATE UNIVERSITY, FRESNO FOUNDATION
15. REDUCING COSTS FOR COMMUNITIES AND BUSINESSES 148
THROUGH INTEGRATED DEMAND-SIDE MANAGEMENT AND ZERO
NET ENERGY DEMONSTRATIONS, GFO-15-308
- a. PROSPECT SILICON VALLEY
 - ~~b. CALIFORNIA HOMEBUILDING FOUNDATION~~

I N D E X (Cont.)

16. REDUCE THE ENVIRONMENTAL AND PUBLIC HEALTH 151
IMPACTS OF ELECTRICITY GENERATION AND MAKE THE
ELECTRICITY SYSTEM LESS VULNERABLE TO CLIMATE
IMPACTS: PHASE II, GFO-15-309
- a. ELECTRIC POWER RESEARCH INSTITUTE, INC.
 - b. BLACK & VEATCH CORPORATION
 - c. UNIVERSITY OF CALIFORNIA, DAVIS
 - d. PUBLIC HEALTH INSTITUTE
 - e. DOE-LAWRENCE BERKELEY NATIONAL LABORATORY
 - f. EAGLE ROCK ANALYTICS
 - g. DOE-LAWRENCE BERKELEY NATIONAL LABORATORY
 - h. UNIVERSITY OF CALIFORNIA, BERKELEY
 - i. UNIVERSITY OF CALIFORNIA, LOS ANGELES
17. DEVELOPING A PORTFOLIO OF ADVANCED EFFICIENCY 160
SOLUTIONS PHASE II: PLUG LOAD TECHNOLOGIES AND
APPROACHES FOR BUILDINGS, GFO-15-310
- a. FISHER-NICKEL, INC.
 - b. ELECTRIC POWER RESEARCH INSTITUTE (EPRI)

18.	NAVIGANT CONSULTING, INC.	168
19.	ITRON, INC., WHICH WILL DO BUSINESS IN CALIFORNIA AS IBS	170
20.	Minutes	175
21.	Lead Commissioner or Presiding Member Reports	176

I N D E X (Cont.)

22.	Chief Counsel's Report	199
a.	<i>In the Matter of U.S. Department of Energy (High Level Waste Repository) (Atomic Safety Licensing Board, CAB-04, 63-001-HLW)</i>	
b.	<i>Communities for a Better Environment and Center for Biological Diversity v. Energy Commission (Court of Appeal, First Appellate District, #A141299)</i>	
c.	<i>Energy Commission v. SoloPower, Inc. and SPower, LLC. (Sacramento County Superior Court #34-2013-00154569).</i>	

The Energy Commission may also discuss any judicial or administrative proceeding that was formally initiated after this agenda was published; or determine whether facts and circumstances exist that warrant the initiation of litigation, or that constitute a significant exposure to litigation against the Commission.

23.	Executive Director's Report	201
24.	Public Adviser's Report	202
25.	Public Comment	---
	Executive Session	---
	Adjournment	203

Reporter's Certificate	204
Transcriber's Certificate	205

1 P R O C E E D I N G S

2 MARCH 9, 2016 10:05 a.m.

3 CHAIRMAN WEISENMILLER: Good morning. Let's
4 start the meeting with the Pledge of Allegiance.

5 (Whereupon, the Pledge of Allegiance
6 was recited in unison.)

7 CHAIR WEISENMILLER: So in terms of today's
8 agenda, 15b has been pulled for now. We'll deal with it
9 later and the rest of it is as written.

10 So let's start with the Consent Calendar.

11 COMMISSIONER SCOTT: Move consent.

12 COMMISSIONER MCALLISTER: I'll second.

13 CHAIR WEISENMILLER: All those in favor?

14 IN UNISON: Aye

15 CHAIR WEISENMILLER: Aye, so the consent passes
16 five to zero.

17 Let's go on to Item 2, Energy Commission
18 Appointments.

1 Kevin, please go ahead. Staff? Let's get to the
2 staff presentation on the Pomona Repower Project.

3 MR. PAYNE: Good morning Chair, Commissioners.
4 My name is Lon Payne. I am a Project Manager with the
5 Siting Unit. With me is Staff Attorney Lisa DeCarlo.

6 We're here today to present a proposed order
7 appointing a Siting Committee for the Pomona Repower
8 Project's application for a Small Power Plant Exemption or
9 an SPPE, for short.

10 Pomona Repower is a 100 megawatt peaking facility
11 that will replace the existing 44.5 megawatt San Gabriel
12 Cogeneration Facility. The project would occupy two acres
13 in an industrial area located at 1507 Mount Vernon Avenue
14 in the City of Pomona, Los Angeles County, California.

15 On March 21st, 2016 AltaGas Pomona Energy, Inc.
16 filed an application for an SPPE seeking an exemption from
17 the California Commission's licensing requirements. The
18 Pomona Repower Project will be powered by one General
19 Electric LMS100 gas turbine. The LMS100 will use the
20 existing 66 kilovolt Simpson transmission line to connect
21 to the Grid.

22 The project would use existing supply and
23 discharge lines including natural gas, potable recycled
24 water supply, processed wastewater and sanitary wastewater.
25 The project plans to use recycled water from the Pomona

1 Water Reclamation Plant for cooling and processed water
2 uses. The project will also include the removal of the
3 existing LM5000 gas turbine currently in operation.

4 If interested, I would be happy to provide you
5 with a brief summary of the SPPE process if you'd like a
6 refresher. Thank you. And we'd be happy to answer any
7 questions you may have.

8 CHAIR WEISENMILLER: Thank you.

9 Let me start with a question. Do any of the
10 Commissioners want to hear the SPPE 101 discussion?

11 UNIDENTIFIED SPEAKER: (inaudible)

12 CHAIRMAN WEISENMILLER: I think any -- oh no,
13 well we could. Actually, I've done a couple and I think
14 Commissioner Douglas has done a couple, but anyway --

15 COMMISSIONER MCALLISTER: You said an LMS100?

16 MR. PAYNE: LMS100.

17 COMMISSIONER MCALLISTER: 100.

18 CHAIR WEISENMILLER: Yeah, it sounds like we're
19 good.

20 Okay, so we would need to appoint a Committee. I
21 think Commissioner Scott should be the lead member on this
22 and Commissioner Douglas should be the second member.
23 Commissioner Douglas did with the IBM -- or the Data Center
24 SPPEs, so you've got some experience. Obviously, you don't
25 in this area, but these are nominally simpler cases.

1 COMMISSIONER SCOTT: I'll likely get the
2 refresher offline.

3 CHAIRMAN WEISENMILLER: Right.

4 COMMISSIONER DOUGLAS: I move approval of the
5 proposed Committee.

6 COMMISSIONER MCALLISTER: Second.

7 CHAIR WEISENMILLER: All those in favor?

8 IN UNISON: Aye.

9 CHAIR WEISENMILLER: Thank you.

10 Let's go on to Item Number 3, which is Order
11 Instituting Investigation. Heather Raitt, please?

12 MS. RAITT: Good morning, I'm Heather Raitt,
13 Program Manager for the Integrated Energy Policy Report.
14 Today I'm asking for the Commission's approval of an order
15 instituting informational proceeding to gather and assess
16 information needed to prepare the 2016 IEPR Update.

17 The Commission is required under Public Resources
18 Code 25302 to prepare an IEPR every two years with an
19 update in the intervening year that assesses California's
20 electricity, natural gas and transportation fuel sectors.

21 Commissioner Douglas is the Lead Commissioner for
22 the 2016 IEPR Update. On March 28th, 2016 she issued a
23 Scoping Order that identifies the topics and general
24 schedule for the proceeding. The topics include natural
25 gas, an Aliso Canyon storage facility gas leak response,

11

1 environmental performance of the electricity generation
2 system, climate adaptation and resiliency, electricity
3 forecast and reliability updates, and nuclear energy.

4 The adoption of this order will ensure that the
5 Lead Commissioner has access to a full range of options for
6 collecting information related to the topics in the Scoping
7 Order.

8 So in closing I request that the Commission
9 approve this order instituting informational proceeding for
10 the 2016 IEPR Update. Thank you.

11 CHAIR WEISENMILLER: Thank you.

12 Any comment, Commissioner Douglas?

13 COMMISSIONER DOUGLAS: Well, just briefly that
14 obviously we've begun some work and some workshops, both in
15 terms of reviewing the comments on the Scoping Order,
16 moving forward to finalize the scope for this IEPR. And we
17 already held a workshop, which I think you'll probably
18 speak to in the Commissioner Reports later in Porter Ranch
19 looking at some of the reliability issues potentially
20 arising from the Aliso Canyon issues.

21 So the work on the IEPR is underway. It's a
22 strong team. It's a set of really important and topical
23 subjects. And so I'm definitely looking forward to working
24 on it and working with our IEPR team, working with the
25 number of divisions that are pitching in some significant

1 support to this year's IEPR Update and to my colleagues
2 and working with my colleagues on this as well.

3 CHAIRMAN WEISENMILLER: Yeah, go ahead.

4 COMMISSIONER MCALLISTER: No, sorry. I want to
5 just -- I'm looking forward to it, but I think we all
6 issues that we're interested in on the IEPR Update in 2016.
7 I want to just thank Commissioner Douglas for taking the
8 lead on it and I think the Scoping Order is terrific.

9 And also just highlighting the fact that 2016
10 really is a time for us to identify the ducks and start to
11 get them in a row in terms of 350 and sort of the other
12 newish things. That we need to organize and get our
13 information bases in place, so that in 2017, 2019 we can
14 really move forward and create that sort of foundation for
15 the new future, which is when we're really going to put the
16 pedal to the metal on the clean energy front. And really
17 localize and get more detailed in the way the forecast and
18 other resources we can develop goes.

19 So anyway, I took that was really, really key
20 moment to kind of pause, take some deep breaths, and really
21 get it right. And I really appreciate your leading that
22 effort.

23 COMMISSIONER DOUGLAS: Thank you.

24 COMMISSIONER MCALLISTER: Do we need to vote on
25 this or no?

1 COMMISSIONER SCOTT: Are you going to move?
2 I move approval. Oh, yeah, right. This is an
3 informational -- no, that's right.
4 COMMISSIONER MCALLISTER: Oh, no, no. This is an
5 order. Yeah, sorry.
6 COMMISSIONER SCOTT: Yes, I move approval of Item
7 3.
8 CHAIR WEISENMILLER: Yes, all those in favor?
9 IN UNISON: Aye.
10 CHAIR WEISENMILLER: This item passes five to
11 zero. Thank you, Heather.
12 So let's go on to the Clean Energy Jobs
13 Presentation.
14 MR. BEAS: Hello and good morning, Commissioners,
15 Chair Weisenmiller, my name is Rodolfo Orozco Beas and I am
16 the Legal Fellow for the Office of Commissioner David
17 Hochschild. I want to first of all thank everyone for
18 being here as well as thank you all for giving me this
19 opportunity to present to you the data I was able to find
20 regarding clean energy jobs.
21 Now before I turn to what I found regarding clean
22 energy jobs in California I thought I would start by
23 focusing on trends and clean energy on the national level.
24 Now, in conducting my research though I quickly realized
25 that the data on employment regarding clean energy sectors

1 was not going to be easily obtainable. For example, recent
2 trends in sectors such as biogas, biomass, geothermal and
3 energy efficiency with SCRS (phonetic) and enough solid
4 data was not available to properly outline any employment
5 trends in those industries at the state or national level.

6 And while this is not ideal, I think this
7 exercise shows the importance of not only keeping a fluid
8 database for these sectors, but it also shows that having
9 such data can help outline successes and trends properly in
10 order to get an idea of not only where we are as a state,
11 but where we are going as an economy. But where
12 appropriate I will outline any data for these industries.

13 Now, in my research I focused on sectors where
14 employment data for recent years was available -- the
15 sectors that have accessible data included solar and wind.
16 As you can see on the national level the solar industry has
17 seen significant growth since 2010. According to the Solar
18 Foundation employment in the solar industry on the national
19 level has grown 123 percent since 2010. By the end of 2015
20 the solar industry employed about 209,000 workers.

21 Now the jobs we are talking about here include
22 jobs in insulation firms, manufacturing, sales,
23 distribution and project development.

24 As for the wind industry, you will see that after
25 experiencing a slight downturn in 2013, wind jobs grew

1 sharply in 2014. According to the American Wind Energy
2 Association as of February of this year, the U.S. wind
3 energy industry supported around 73,000 full-time jobs
4 directly associated with wind energy project planning,
5 siting, development, construction, manufacturing and supply
6 chain, and operations.

7 As for other clean energy industries, according
8 to the International Renewable Energy Agency the geothermal
9 industry employed around 35,000 workers in the United
10 States as of the end of 2014. While the biomass industry
11 supported around 152 direct and indirect jobs. In a 2014
12 Report the American Council on Renewable Energy found the
13 hydropower industry employees between 200,000 and 300,000
14 workers in the United States.

15 Now the job data for these industries is positive
16 and shows how clean energy is adding a significant amount
17 of jobs to our economy. While this diversification has
18 helped several energy industries benefit it has been
19 detrimental to others.

20 For example the coal industry, which provided 52
21 percent of the nation's electricity in 2011 has lost more
22 than 40,000 jobs since 2008 according to the National
23 Mining Association. Furthermore, the market cap value of
24 the top four U.S. coal companies has declined 99 percent
25 since January of 2011.

1 Now turning your attention to what is going on in
2 California. As we can see the trends in solar and wind are
3 similar to the trends nationally. You will notice that
4 when jobs have remained somewhat consistent since 2010,
5 that solar job growth has increased significantly. Here
6 you can see that wind energy or the wind industry has
7 employed between 2,000 and 8,0000 each for the past five
8 years. The state solar workforce has expanded 110 percent
9 since 2010 and employs around 75,600 employees here in the
10 State of California.

11 Now to put that into context you can see here
12 that solar employs more people in the State of California
13 than all of the utilities combined, with a projected 14,000
14 more jobs to be added by the end of this year according to
15 the Solar Foundation. Now in terms of the California
16 economy it is impressive that between 2014 and 2015 the
17 state solar workforce has expanded 38 percent. You will
18 see that in that same time the California job growth rate
19 and the U.S. job growth rate expanded 2.9 percent and 1.9
20 percent respectively.

21 Now turning now to clean transportation,
22 currently the largest manufacturing plant in California
23 produces electric vehicles. Now while there is no solid
24 data on the industry as a whole, as to how many jobs are
25 directly supported by the manufacturing and maintenance of

1 electric vehicles, there are some examples of the positive
2 effect that clean transportation is having in California.
3 Some examples include companies that have received grants
4 from the California Energy Commission.

5 Protera, who has designed and developed new zero
6 emission battery electric buses as well as Tesla, which
7 currently employs over 12,000 people in the state. And
8 with the increased demand for electric vehicles in the
9 street of California and beyond, as well as the increased
10 demand for electric bus fleets by several cities companies
11 like Tesla and Protera will continue to grow and expand,
12 which means that they will likely need more California
13 workers to meet their demand.

14 Furthermore, the California High-Speed Rail
15 Authority announced in June of last year that construction
16 on high-speed rail, which will be 100 percent powered by
17 renewable energy are estimated to create 20,000 jobs
18 annually for five years. Furthermore, connecting Los
19 Angeles and San Francisco will generate 66,000 jobs
20 annually for 15 years. Moreover, the Phase 1 Blended
21 System will generate 2,900 permanent operation jobs.

22 Now, I wanted to end my presentation by speaking
23 briefly about how the data I was able to find does suggest
24 that our economy has not only taken a step towards becoming
25 greener, but that in doing so, is increasing not only job

1 growth in the state, but job growth on the national level.

2 Now California has been a leader in this regard
3 and is an example of how a state can thrive with a vision
4 of a clean energy economy. While solar and wind do help
5 with the narrative other clean energy industries should be
6 applauded as well for their efforts.

7 Now the writing on the wall is pretty clear for
8 the near future. Clean energy industries in the state
9 should continue to flourish and expand. With the extension
10 of the Federal Production Tax Credit and the Investment Tax
11 Credit through 2020 and 2022 respectively, as well as
12 California's move to go to 50 percent renewables by 2030,
13 there is opportunity in the state for clean energy
14 industries to grow and in essence for our state to continue
15 to generate jobs and opportunities for Californians.

16 And with that I want to thank you all for
17 allowing me this opportunity to speak in front of you here
18 today. Thank you.

19 CHAIR WEISENMILLER: Thank you.

20 I was going to note that obviously BYD is also
21 another company that does electric buses. It actually
22 manufacture -- well, it's located in Lancaster. And
23 certainly again it's gotten Energy Commission grants,
24 (inaudible) based upon the Governor's trade mission to
25 China. So anyway...

1 COMMISSIONER HOCHSCHILD: I really want to thank
2 you, by the way, for doing this. And just to be clear I
3 think it's important to identify where we don't feel we
4 don't have good data just going forward, because I think
5 tracking the progress across all technologies is really
6 important.

7 What I heard you say is basically biomass and
8 geothermal were harder to get than to some extent hydro or
9 at least small hydro; I'm not sure?

10 MR. BEAS: Yeah. Yeah, essentially that's what I
11 was getting at, that there is definitely a need for a more
12 concise and accessible database for those industry areas.

13 COMMISSIONER HOCHSCHILD: Okay. Was there
14 anything else in clean transportation or elsewhere that you
15 just looked and it was hard to find or jobs, tracking jobs?

16 MR BEAS: Yeah, well energy efficiency and
17 transportation are kind of in the same boat here where
18 there is some numbers regarding how many jobs they create
19 on certain aspects of manufacturing, for example,
20 batteries. But as a whole it is a little harder to
21 determine where some of these kind of greener industries
22 fall in terms of employment -- at least in the past five
23 years, which is where I was focusing my research on.

24 COMMISSIONER MCALLISTER: Thank you.

25 Just on that point I mean I think efficiency is

1 kind of unique in that you could argue that any
2 construction job is an energy efficiency job pretty much,
3 because we have standards that really do force the issue.

4 And we also have a lot of more service-oriented
5 companies in the state that provide energy management
6 services. And that's kind of built now into the system in
7 a lot of ways, particularly non-residential but
8 increasingly residential as well. And I think there are
9 technology companies and analytical firms and just a lot of
10 sort of value add going on that may not be manufacturing of
11 widgets, but it really is energy management.

12 And so those numbers are very large, but I think
13 you can say, "Well, it's 10 percent of this person and 20
14 percent of that person and 5 percent of the other person."
15 So it sort of is a cross-cutting effort that I think we're
16 in general, since it's so in the ether and in the water --
17 and we're all drinking the Kool-Aid maybe -- that we're all
18 familiar with, so that it maybe doesn't emerge as an
19 obvious sort of clean energy thing that you can tag, but it
20 certainly is there.

21 CHAIR WEISENMILLER: Well, certainly some of the
22 debate on the national solar numbers that he used I think
23 maybe there's a lot of (inaudible) some of it includes
24 energy efficiency. You know, again on these projects you
25 can do both.

1 You know, obviously Rossi is the one on point in
2 the administration. He's skeptical of the industry job
3 numbers put out by the industry per se, but they are
4 impressive. Although again I think, going forward, it's
5 very good to keep tracking these, which obviously other
6 parts of the state government are responsible for.

7 And also just to put out the diversity part and
8 the union labor part, how many of these are good jobs and
9 how are below prevailing wages? But again it's good to
10 keep track of those questions.

11 And certainly thank you for your activity and
12 certainly for your public service being here as an intern.

13 COMMISSIONER HOCHSCHILD: And by the way let me
14 just say Rudy comes to us out of UC Davis, as does Emilio,
15 and it's just a great example of I think the kind of
16 trajectory we want from our top tier public universities
17 into the Commission. And that's been a real pleasure.
18 We're not letting him go, by the way. This summer he is
19 going to go work for Kourtney in the Legal Office and he
20 may never leave.

21 But actually just one bit of good news I did
22 learn recently is that the affordable renewables, now from
23 here going forward, the Department of Energy is actually
24 going to take over from the Solar Foundation and actually
25 detail the same methodology, which is a census-based

1 approach doing surveys. And then we'll be getting national
2 renewables data, pan renewables data from DOE on jobs
3 starting this year going forward. So I think that will be
4 helpful.

5 CHAIR WEISENMILLER: That's good.

6 COMMISSIONER MCALLISTER: I think on efficiency
7 we are actually facing these issues. The Prop 39 is the
8 Clean Energy Jobs Act, right? So one of the core goals is
9 to move energy efficiency and clean energy generally in the
10 schools. In efficiency traditionally it's been sort of,
11 "Well okay we invest x amount of dollars in the sector."
12 And there's a multiplier that DOE uses to figure out well
13 how many jobs were created by that investment. And so I
14 think there is a need to update. You know, whether that
15 multiplier where it fits, where it doesn't fit, kind of
16 update it in a way and understand the industry better.

17 We do have some resources in the state though,
18 the Don Vial Center and others that do work on energy
19 efficiency and the jobs implications, the economy
20 implications for labor markets and all that, so that's very
21 helpful. So we do have resources in the state on the
22 efficiency side. And there have been some good reports
23 that have come out on efficiency jobs.

24 COMMISSIONER HOCHSCHILD: Yes.

25 COMMISSIONER MCALLISTER: So you might look for

1 that and incorporate it when you have a chance.

2 CHAIR WEISENMILLER: No, I was going to point to
3 that. I mean certainly Don was in the first Brown
4 Administration and then sort of a PUC Commissioner and
5 always had a very strong labor focus among other things.

6 So anyway, but thanks again. We're glad to hear
7 you're staying and certainly encourage you to encourage the
8 best and brightest from Davis, particularly diversity
9 candidates to come.

10 So with that let's go over to 5, 2016
11 Nonresidential Compliance Manual Update. Let's start with
12 Part a.

13 Peter Strait, please?

14 MR. STRAIT: Thank you Commissioners.

15 As noted this item is in two parts, so we'll
16 start with Part 5a. This is for the Compliance Manual,
17 Section 25402.1(e) of the Public Resources Code requires
18 that the Commission, "Certify not later than 180 days after
19 approval of the Standards by the State Building Standards
20 Commission an Energy Conservation Manual for use by
21 designers, builders, and contractors of residential and
22 nonresidential buildings."

23 I'm here today to ask the Commission to approve
24 and certify the compliance manuals for the recently
25 approved 2016 version of the Building Energy Efficiency

1 Standards consistent with the statutory requirement.

2 For those who may not be familiar with them the
3 compliance manuals are a plain-language recipe book for
4 complying with the Building Energy Efficiency Standards.
5 They describe the steps that builders, designers and
6 similar parties can take to ensure their projects meet
7 efficiency requirements. It is not itself a regulatory
8 document. Rather, it describes the regulations in order to
9 assist designers and builders and provides forms to be used
10 to document and demonstrate compliance for California's
11 building officials.

12 Also, for those who may not have participated in
13 the rulemaking for the 2016 Standards, amendments to a
14 portion of these Standards relating to nonresidential
15 lighting alterations were adopted at a later date than the
16 majority of the regulations. Because of this, the
17 associated sections of the compliance manuals were
18 similarly offset in their production.

19 Following a workshop and a public comment period
20 our office has now finalized changes to the 2016
21 Nonresidential Compliance Manual chapters and forms for
22 non-residential lighting alterations. In addition, staff
23 have identified incorrect and minor errata occurring in a
24 handful of additional compliance forms. We are here today
25 to bring a complete compliance manual that includes these

1 sections before the Commission for approval.

2 The draft changes to the chapters and forms were
3 made available for public comment from March 1st to March
4 15th. Staff received very few comments on the specific
5 content of the chapters and forms. Of the comment letters
6 received only one made specific reference to the language
7 in the Draft Compliance Manual and requested that the
8 proposed language be changed. Staff made changes to the
9 final language to be responsive to this commenter's
10 comment.

11 The majority of comments received by staff
12 instead discussed restricting the completion of a new
13 Certificate of Compliance Form to certified acceptance test
14 technicians. This is not currently a requirement in the
15 2016 Building Standards and would require a rulemaking
16 action to amend Title 24. I mention this as I believe some
17 of the commenters here today will be making this comment
18 and this request.

19 The current action before the Commission is the
20 approval of the Compliance Manual for the currently
21 approved Standards, which is required by statute as
22 mentioned before to be done within 180 days of their
23 approval by the Building Standards Commission. As we are
24 required to approve a current Compliance Manual for the
25 current standards we therefore recommend approval even if

1 future changes to the Standards are contemplated.

2 I'm happy to answer any questions that the
3 Commission may have.

4 CHAIR WEISENMILLER: Okay, thank you.

5 Let's go through public comment. And again this
6 is on a.

7 Tom Enslow, first.

8 MR. ENSLOW: Good morning Chair, Commissioners,
9 Tom Enslow on behalf of the California State Labor
10 Management Cooperation Committee for the International
11 Brotherhood of Electrical Workers, and the National
12 Electrical Contractors Association.

13 The organizations that I represent have serious
14 concerns over the proposed Compliance Manual provisions
15 related to the new 35-to-50 percent power reduction
16 compliance pathway for lighting alterations. The LMCC
17 feels that the enforcement concerns that have been raised
18 previously on those alterations have not been addressed.

19 Now this was a compliance pathway that was highly
20 controversial when it was adopted, in large part due to
21 concerns over its enforcement. And at the time the
22 Commission committed that they were going to address
23 enforcement issues as they moved forward.

24 Enforcement is a huge issue in building codes as
25 you know, particularly with Energy Code. Studies have

1 shown that without reliable verification compliance with
2 Energy Codes is -- approximately 65 percent of projects
3 fail to comply with Energy Code requirements. So the 35-
4 to-50 percent power reduction compliance pathway heightens
5 this enforcement concerns, because it's enforcement relies
6 on the comparison of the performance of the preexisting
7 lighting system with the new altered lighting system.

8 And this is problematic. And we refer this again
9 and again from enforcement officials, because enforcement
10 officials verify the final product of the code. They don't
11 look at -- they don't go in and inspect a building
12 beforehand. And to suddenly adopt Building Standards based
13 on a comparison of preexisting conditions with new
14 conditions creates an enforcement gap that's ripe for
15 fraud.

16 And so as I said the Commission's response was to
17 commit to addressing enforcement issues, so staff held a
18 workshop on enforcement in February. And at that workshop
19 numerous inspectors and other stakeholders testified that
20 merely requiring a contractor to sign a document verifying
21 compliance would not be sufficient since there is no way to
22 verify if someone is lying once the original lighting
23 alterations and original lighting fixtures have been
24 removed. And so it creates this new incentive for fraud,
25 because there's almost no way to get caught once you've

1 done the work.

2 So numerous stakeholders recommended using
3 acceptance tests just to conduct this pre-installation,
4 visual inspection, and a report was prepared by the
5 University of California Davis Lighting Technology Center,
6 finding that use of acceptance testing would be cost
7 effective. And we have supported acceptance testing,
8 because that's what building officials thought would
9 relieve them from the responsibility of having to go in
10 beforehand, which they felt they didn't have the resources
11 to do.

12 But despite the commitment to address the
13 enforcement the current Compliance Manual only requires a
14 simple verification by the contractors, no verification of
15 existing conditions is required that's meaningful in any
16 way. Our clients feel that this is a violation of the
17 commitment that was made to address these concerns that we
18 had raised. And we urge the Commission to expect staff to
19 continue looking at this issue and amend their Compliance
20 Manual as we go forward before the effective date of these
21 provisions.

22 Thank you.

23 CHAIR WEISENMILLER: Thank you.

24 Aaron Klemm from the CSU's Chancellor's Office.

25 MS. MATHEWS: Mr. Klemm can't be here, so I will

1 be reading them on his behalf.

2 (Reads letter from Aaron Klemm)

3 "Honorable Commissioners my name is Aaron Klemm
4 and I am the Chief of Energy and Sustainability for the
5 California State University CSU system.

6 "CSU is a leader in high quality, accessible and
7 student-focus higher education with 23 campuses, 460,000
8 students and 47,000 faculty and staff.

9 "The trustees of the CSU have maintained and
10 expanded CSU's long-standing energy management program with
11 aggressive goals for energy efficiency and carbon emissions
12 reductions in CSU's buildings. CSU's built environment
13 totals over 85 million square feet with over 40 percent of
14 the space being built before 1980.

15 "Consequently, cost-effective lighting
16 alterations to existing buildings are essential for CSU to
17 meet the trustees energy and climate goals, given the
18 multiple demands for limited funding and financing
19 capacity. CSU strongly supports the staff recommendation
20 to approve Item 5 without any amendments, which will
21 provide an additional, more cost-effective compliance
22 option for lighting alteration projects in the 2013
23 Building Energy Efficiency Standards.

24 "Thank you for considering this comment."

25 And I have another request if I can just read

1 that while I'm here now? It's a comment on behalf of Tom
2 James.

3 CHAIR WEISENMILLER: Sure.

4 Again, I encourage people when they send in
5 comments in writing to assume we will read them as we are
6 all literate as opposed to having them read to us. Thanks.

7 MS. MATHEWS: (Reads letter from Tom James.)

8 "My name is Tom James and I am a long time
9 lighting efficiency pioneer here in California. Almost 30
10 years ago I helped create one of the first compact
11 fluorescent lighting fixture manufacturers in the country.

12 Over the years I've had the great privilege of
13 working with utilities, lighting retrofit companies,
14 contractors, distributors and end users around the country
15 to help them with their lighting efficiency programs and
16 projects. Historically I have been supportive of lighting
17 controls and was one of the very first to be certified as a
18 CALCTP acceptance test technician in 2014.

19 Given the much higher efficacy SSL lighting is
20 now the norm in terms of our retrofit and renovation
21 projects. I firmly believe that our lighting control
22 systems need to be simpler to deploy and much more cost
23 effective if they are ever to make compelling economic
24 sense for the commercial marketplace. Moreover, I see no
25 good reason to require ATTs to verify existing fixture

1 wattages as that basic function has been easily handled by
2 the lighting contractors and utility companies who have
3 built the lighting retrofit industry that exists today.

4 I strongly support the CEC staff recommendation
5 to approve Item Number 5 without any amendments, which I
6 trust will provide an additional and more cost effective
7 compliance option for lighting alteration projects in the
8 2013 Building Efficiency Standards.

9 Thank you for your consideration and your good
10 work.

11 CHAIR WEISENMILLER: Thank you.

12 Tom James? Oh, Tom -- Mr. James -- okay.

13 Let's go to Gene Thomas.

14 CHAIR WEISENMILLER: Let's go to Gene Thomas.

15 MR. THOMAS: Hi. I'm Gene Thomas, Ecology
16 Action. I've got just some quick bullet points to go over
17 regarding the percentage reduction compliance option and
18 then the verification of existing fixtures.

19 Just to reiterate that lighting retrofit market
20 continues to suffer under the current 2013 Code, it needs
21 attention now. Major energy savings is being stranded
22 because code-triggering retrofit projects are not selling.

23 Lighting retrofits that do proceed are much less
24 comprehensive than before consisting mainly of screw-in
25 LEDs and other non-code triggering lamp replacements. CEC

1 developed the 2016 Percentage Reduction Compliance Path
2 with extensive stakeholder input, specifically to address
3 these unforeseen, negative market effects with the 2013
4 Code.

5 And CEC analysis proves that allowing this
6 compliance option now will save more energy now and will do
7 so at reduced cost to rate pairs.

8 And we, College Action, urges the Commission to
9 approve the staff proposal as written to allow the
10 Percentage Reduction Compliance Path as an option under the
11 2013 Code.

12 Regarding verification of existing fixtures there
13 is no needed for the added expense and hassle of having
14 ATTs verify existing fixture wattages, because contractors
15 are already accurately performing that function of the
16 people that install the retrofits. And it's important to
17 know that lighting contractors are incentivized on multiple
18 levels to be accurate. When contractors sign the
19 acceptance form attesting to those fixtures they do so
20 under penalty of law.

21 Overstating projected savings has far more
22 potential downside for contractors than potential upside.
23 There is no credible study data showing that licensed
24 lighting contractors do not accurately characterize
25 existing fixture pipes and wattages.

1 Furthermore there is no credible study data
2 proving that ATTs do provide greater accuracy in verifying
3 control settings than the contractors who installed them.
4 Lighting contractors are far more qualified than ATTs on
5 the subject of correctly identifying existing fixture types
6 and wattages.

7 In contrast CALCTP's ATT training curriculum does
8 not include instruction on how to identify incumbent
9 lighting technologies and properly assign system wattages.
10 That whole training curriculum would have to be developed
11 from scratch and disseminated to all the current ATTs.
12 Adding ATT verification requirement would substantially
13 disrupt project work flow and layer on additional costs
14 with no greater likelihood of accuracy than the current
15 approach.

16 Building inspectors already rely mainly on what
17 the responsible designer, the lighting contractor, has
18 attested to in the compliance forms under penalty of law.
19 Jurisdiction to wish to review existing fixtures lamps can
20 do if they wish by examining photos of existing fixtures
21 that were removed. Also, potentially the building owner or
22 decision maker could sign an affidavit attesting to the
23 accuracy of the existing fixtures that were removed.

24 The 11th hour is not an appropriate time to push
25 through a radical, untested scheme that goes far beyond

1 current enforcement practices and is not called for in
2 adopted regulations. Ecology Action strongly urges the
3 Commission to reject the Special Interest proposal to
4 require ATT verification of existing and new fixtures.

5 I'm available for any questions if you like.

6 CHAIR WEISENMILLER: Okay, thank you.

7 Is there anyone else in the room who wants to
8 speak on this issue? Let me go to the people who called
9 in. We may have questions for folks afterwards, but let's
10 get their other public comment in.

11 Let's start with L.A. County.

12 MR. KASHE: -- L.A. County area as well 16
13 contract cities I fear by having the 5b -- to try to change
14 4 to 5b I won't be able to do that. I get contractors and
15 designers on a daily basis coming to my counter and they're
16 doing everything possible not to comply with the code. And
17 they're writing anything possible on the plans to get a
18 permit. There is no way of me being able to verify or my
19 staff to able to verify any of the existing lighting
20 circuits or the wattage or deficiencies, so I really feel
21 this should be a third-party doing this for us. And we
22 should get this to be documented and recorded to the state
23 level. At the same time, who better than the acceptance
24 technicians, who are already contractors to begin with?
25 Most of them understand (inaudible) acceptance technicians

35

1 are contractors. And yes, they could be trained. There's
2 still time for us to be able train them from now until
3 January 1st. Thank you.

4 CHAIR WEISENMILLER: Thank you.

5 Let's go to Matt Tracy.

6 MR. TRACY: -- what I wanted to say, but I just
7 wanted to put my last two cents on that in that anything
8 that simplifies the process makes it so that there is fewer
9 costs, which make lighting retrofits more valuable for the
10 building owner. Anything that adds paperwork, anything
11 that adds extra people in the middle of the process adds
12 costs, which makes the payback worse in the lighting
13 retrofit.

14 So I am definitely in approval of the early
15 adoption of the 35-50 percent compliance option. And I'm
16 definitely in opposition of the fixture verification by
17 acceptance test technicians. Thank you.

18 CHAIR WEISENMILLER: Thank you.

19 Rick Brown. Rick Brown?

20 MR. GOLDTHRITE: Sorry.

21 MR. BROWN: I'm also a member of the Executive
22 Committee of the School Energy Coalition and have been
23 asked by our Executive Director, Anna Ferrara, to speak on
24 her behalf. And basically we are in support of the staff
25 recommendation in both items. We are School Energy

1 Coalition, it's an organization made up of K12 schools,
2 community colleges. School construction and energy
3 consultants focus on energy, water efficiency, and
4 renewable energy generation projects for California
5 students. And we support, again, the staff proposal.

6 In 2012 California voters approved funding from
7 public energy projects through Prop 39, which then focused
8 on K14 districts per the Governor and the Legislature. And
9 since the implementation rules were established schools
10 have been gathering the required baseline data and
11 benchmarking analysis for funding approval in their Energy
12 Expenditure Plan. The resulting utility bill savings that
13 have come from these projects are already stretching
14 taxpayer dollars as they are used for other school
15 priorities, such as teachers' books or technology that
16 assist students statewide to a better academic achievement.

17 And so that's why we're in strong support of
18 these measures, which as I testified and Anna testified
19 last fall, are really necessary to get these projects freed
20 up. And in terms of my company we're already having
21 projects go forward using the new Option 3. And in the
22 case of public schools around the verification issue we
23 already, as part of Prop 39, have to do extensive pre-
24 installation verification processes. That's a requirement
25 of Prop 39.

1 And we have to do post-implementation
2 verification. Not just of the installations, but of the
3 actual energy saving. So a) we don't think this is
4 necessary anyways, but it particularly is not necessary for
5 schools. We also have requirements for an inspector of
6 record, a third party, to verify implementation to the
7 code. So we think this would not be applicable in any case
8 in the public school sector.

9 So I'm glad to answer any questions. Thank you
10 for your time.

11 CHAIR WEISENMILLER: Thank you.

12 Scott Randolph, City of San Jose.

13 MR. RANDOLPH: Yes, I'm an inspector on a
14 contract for the City of San Jose.

15 I'd like to speak first as the school just spoke.
16 They are a very limited group in that they don't represent
17 the vast majority of the work in the State of California.
18 And as such, I don't believe that their input has much
19 value when we look at the whole state as it sits.

20 As a building inspector there is absolutely no
21 way that enforcement has ever worked with self-
22 certification. We don't allow self-certification in any
23 aspect of the building departments. And why would we start
24 doing that now? I have absolutely no concept. It doesn't
25 work, people don't tell the truth, people are not honest.

38

1 And when it comes to money they will do everything
2 possible, as the City of L.A. said, to avoid extra costs
3 and extra interference or extra, even verification by an
4 outside official.

5 Number two the early adoption, I think, is a
6 completely bad idea. Many of the jurisdictions in the Bay
7 Area -- there is 109 different jurisdictions -- many of the
8 jurisdictions are just now even after 18 months really
9 getting a handle on the Title 24 requirements and what's
10 required and what isn't. And now to say that we're going
11 to step up an early adoption of one singular program that
12 is very controversial anyway, I think that will harm rather
13 than help in the jurisdictional and the inspection system.

14 The whole concept is that the city is there to
15 verify how everything is going to work and it takes time
16 for a city of over a million plus people, their inspection
17 department, it involves in getting their head around what's
18 happening. And to do an early adoption well before any of
19 the rest of the requirements are coming into effect I think
20 is a very bad idea. Thank you.

21 COMMISSIONER MCALLISTER: Just to be clear, so
22 Mr. Randolph, I've got you as City of San Jose. Are you
23 actually employed with the City of San Jose?

24 MR. RANDOLPH: I'm a contractor that works for
25 the City of San Jose.

1 CHAIR WEISENMILLER: So you're not representing
2 the City's view on this?

3 MR. RANDOLPH: Not totally, no. I worked for the
4 city for almost three years and then left and went out.
5 And I was requested to come back and work as a contractor,
6 so I don't speak for the City of San Jose.

7 COMMISSIONER MCALLISTER: Great, thank you.

8 CHAIR WEISENMILLER: Okay, Don Link?

9 MR. LINK: Hello?

10 CHAIR WEISENMILLER: Please go ahead.

11 MR. LINK: Okay. Let me turn the speaker off,
12 please. Yeah, my name is Don Link. My company is
13 Controlled Energy, a lighting retrofit company that's been
14 in this industry since 1986. We've retrofitted hundreds of
15 thousands if not billions of light fixtures, installed
16 thousands of occupancy centers and daylight harvesting
17 controls when they were appropriate.

18 We install controls when they are cost effective
19 and not in a "one size fits all," prescriptive manner. I
20 urge the Commission to approve Item 5a and b, as they are,
21 because they provide a third path for the lighting retrofit
22 industry.

23 Those prescriptions in 2013 Title 24 are not
24 appropriate for the lighting retrofit industry, but more
25 for the inside wiremen-type companies that do new

1 construction. My company has seen its business and staff
2 shrink 80 percent since the 2013 regulations took effect.
3 Commission staff has shown that the new 50-35 percent
4 compliance path will increase energy savings by 33 percent
5 more than the 2013 Regulations.

6 My industry needs the flexibility of 2016
7 Regulations to be able to do its work of reducing kW demand
8 in kilowatt hours of consumption, something we've been
9 doing effectively for 30 years. We know how to do it, we
10 know how sell it to our customers. We cannot sell the 2013
11 requirements, because of their cost and complexity. Cost-
12 effective energy efficiency drives our sales and our
13 industry.

14 I also think the 2016 Regulation should be
15 implemented immediately and not wait until 2017 to go into
16 effect. Many companies like mine are hanging by a thread
17 and need to get back to work saving energy. Please do the
18 right thing for my industry for its customer base, which is
19 really not served very well by 2013 Standards. And also do
20 the right thing for the State of California.

21 The idea of the acceptance testing technician
22 verifying is redundant in my work, because that kind of
23 verification is already being done by the utilities and
24 third-party rebate organizations. They require a pre-
25 inspection and verification, because they're giving out

1 public funds. So that would be redundant, it would be
2 another layer, it would time consuming and quite expensive.
3 The ATT can charge anything he wants for this kind of work.

4 So please do the right thing, approve 5a and b as
5 they are. Thank you much.

6 CHAIR WEISENMILLER: Is there anyone else on the
7 line who wants to speak about 5a?

8 MR. GOLDTHRITE: (inaudible)

9 CHAIR WEISENMILLER: I don't have cards for them.
10 Ask them to introduce themselves and then to speak.

11 Actually, Tom we have on for 5b. And now we're just
12 dealing with 5a, but if he wants to speak on a, that's
13 fine. Okay, fine.

14 So let's transition now from public comment to
15 discussion on the dais. Commissioner McAllister, you want
16 to lead us?

17 COMMISSIONER MCALLISTER: Sure.

18 So thanks, everybody, for coming on this.

19 Obviously a lot of diversity of opinion, I guess
20 first of all I don't know if staff, Peter, you've been
21 taking any notes on any particular issues you want to
22 respond or develop those themes a little further? And we
23 heard a few themes that have different opinions across
24 them.

25 MR. STRAIT: Sure.

1 We know that enforcement of this is a somewhat
2 new field in nonresidential projects, so we do have a
3 sensitivity to the comments that were raised regarding
4 enforcement.

5 For a building inspector walking into a project
6 that has taken this approach and looking at the installed
7 lighting that building inspector is still able to make a
8 call whether this project looks to be one that's met the
9 goals of Title 24 or met its requirements or hasn't.

10 These 35 and 50-percent numbers are not
11 arbitrary. They were set to provide the same or superior
12 results to the existing approach of calculating based on
13 the square footage. So a building inspector can make the
14 same assessment of the space and if they find that it
15 hasn't met that they can red tag the controls, similar to a
16 project using the existing options and say, "These need to
17 be updated, because the space doesn't meet what would be
18 required to have a reduced controls option."

19 We looked at whether there would be value in
20 having an ATT perform these functions. The primary thing
21 that we found is this would require a change to the
22 regulations, so in terms of this action before us of
23 approving the current compliance manuals based on current
24 code it really would be a separate action that would
25 subsequent.

1 However, we did find that an ATT is not
2 necessarily in a more independent role than a contractor,
3 an engineer or an architect. An AC can also be a licensed
4 contractor, engineer or architect. It can be the lead
5 contractor on a lighting alteration project, its primary
6 designer or the lighting systems installer. In these cases
7 we didn't find that an ATT would be less subject to
8 pressure to overstate installed lighting wattages than a
9 contractor, engineer or architect.

10 We also found that would mean it would not be a
11 new set of eyes on the project and that the people
12 possessing an ATT certification would be able to self-
13 certify.

14 We did find that there was an increase in project
15 costs and that there would be an increase in logistical
16 difficulties to have an ATT participate where they're not
17 normally required to do so.

18 We did find that contractors, engineers and
19 architects have strong disincentives and deterrents for
20 submitting falsified information.

21 We also found that the most common type of
22 noncompliance in a case like this wouldn't be that they
23 falsified a document, but that they simply do not pull a
24 permit at all. I received a call just this morning from a
25 retrofitter that was seeking information. And their

1 commentary was that they had a lot of competition from
2 shops that would sell themselves as, "We'll take of all the
3 permitting, we'll do everything for you" and then behind
4 the scenes they simply do not do so. So adding an ATT
5 would only apply additional compliance to projects that
6 have pulled a permit, not to those that are completely
7 underground.

8 There is an additional auditing that ATTs
9 receive. ATTs are overseen by ATT employers and ATT
10 certification providers, so there is a layer of auditing of
11 their work that isn't applicable necessarily to
12 contractors, engineers or architects. Although one could
13 think of the building official inspecting the property as
14 an auditing of that builder's work.

15 And lastly, there was a legal issue with
16 prohibiting a licensed contractor, engineer or architect
17 from making statements about the installation and the
18 wattage of an existing lighting system. This is something
19 that Code expects these parties to do when they're
20 designing a new building, but to say that they are not
21 qualified to do so in an existing building would create an
22 odd conflict between our Code and the Building Professions
23 Code.

24 For those reasons we took a very close look at
25 this option and it wasn't something that we would recommend

1 to the Commission at this time.

2 COMMISSIONER MCALLISTER: Yes. I want to dig in
3 a little bit to the -- at least one commenter, I think a
4 couple of commenters said -- I believe it's most of these
5 projects, but many at least of these projects participate
6 in programs, the incentive programs, that are ratepayer
7 funded that do require establishment of this baseline.

8 Now maybe you can give us some insight on that
9 and how that information is used and where it goes?

10 MR. STRAIT: Certainly. So many of these
11 projects, the reason that -- or let me go back a little
12 bit. One of the things that help us engage in so many of
13 these projects in the State of California is this ratepayer
14 funded assistance that's provided by our utility companies.
15 And as a part of that they require documentation of the
16 existing and the proposed lighting systems; it's fairly
17 extensive.

18 Anytime we talk about cutting a check to someone
19 for having performed an action we want to have a strong
20 guarantee that that exists. So while this is not a
21 regulatory proceeding it is still a very strong incentive
22 and very difficult to thwart program that is applicable to
23 most of the lighting retrofit projects that occur within
24 the state. And we know have significant uptake.

25 In fact, some information submitted to us during

1 the 2016 Rulemaking proceeding showed that as the economy
2 recovered these projects are even under the somewhat
3 onerous requirements in 2013, as some commenters have
4 framed that, increasing and quite drastically. So
5 participation in these programs is very strong and it does
6 provide that additional layer of certainty that folks that
7 are engaging in these retrofit projects are reaching the
8 same endpoint that we care about of an efficient building.

9 It's worth noting that the only difference that
10 we're focused on for this is option is whether or not a
11 bilevel switch or a bilevel control is installed for that
12 space. All the control requirements related to area
13 controls and related to automatic shutoff controls are
14 still required for these projects.

15 These projects are not required to install
16 daylighting controls or demand-response controls. However,
17 those are also not required if you install an efficient
18 lighting system under the current options -- that's when
19 you're 85 percent or less of your installed lighting power
20 allowance.

21 And with LEDs it's practically guaranteed that if
22 you're installing LEDs you're going to reach that point.

23 COMMISSIONER MCALLISTER: So thanks. I guess, so
24 in terms of there's a diversity of projects. There are
25 existing buildings that have a particular context. And I

1 guess what's your sense of the role of the building
2 departments and the building inspectors in coming in and
3 sort of signing off on a project?

4 You know, that 35 and 50 is a firm requirement.

5 MR. STRAIT: Right.

6 COMMISSIONER MCALLISTER: So it's a global sort
7 of sense of, "Oh, this looks like a good project" doesn't
8 necessarily guarantee that you are getting that percentage.
9 And so I guess I wonder how you can comment on them walking
10 into a building after it's done. And what that looks like
11 for them.

12 MR. STRAIT: Sure.

13 Actually, one comment that we received from
14 several building officials is that they were frustrated
15 that we had requirements that weren't just asking that LEDs
16 be installed and that be sufficient to show that you've
17 reached an efficient building.

18 We know that for many building officials their
19 job is very difficult, there is a lot they've got to
20 inspect and that their top priorities are to make sure that
21 no one gets hurt and that no one gets killed. That is,
22 they are first looking at the building to make sure it's
23 not going to fall down or catch fire or otherwise imperil
24 someone that's an occupant or resident in that building.

25 Third on the list is efficiency, because while

1 this has a profound impact on the quality of life of the
2 occupant and their economic status in the state -- and has
3 a universal impact on, for example, climate change and all
4 of the state's goals -- it doesn't have an immediate
5 threat. If somebody has less efficient lighting there is
6 not an immediate threat posed to that occupant.

7 When they get to this point they want these
8 processes to be as simple and as easy as possible. Part of
9 the reason that we have the HERS Program in Residential and
10 the ATT program in Nonresidential is to offload some of the
11 detailed inspection work and some of the more complicated
12 questions to a trained third party who can competently
13 attest that if the building official were to look and
14 inspect at that level themselves they would find a
15 compliant system.

16 COMMISSIONER MCALLISTER: Although in this case
17 the ATT is not necessarily an independent third-party,
18 because they are not required to be a true third-party.
19 Right, they could be the contractor in and of itself.

20 MR. STRAIT: Correct, correct.

21 The goal in an ATT program is not so much to
22 provide an independent third party, but mainly to provide
23 someone with the explicit training necessary to put the
24 lighting controls, these complex control systems and
25 complex mechanical control systems, through a series of

1 tests that show that it's actually going to live up to its
2 end of the bargain.

3 This is necessary because these are somewhat
4 complicated and difficult to install and configure
5 correctly, so even someone that's trying their best to do
6 the right thing, have they missed even one thing that's
7 going to cause this to not function in an automated sense
8 as it properly should?

9 In this case we don't have quite the same
10 situation where we're asking someone to count a number of
11 fixtures and determine their wattage. It's not something
12 that requires a detailed test procedure to accomplish.

13 COMMISSIONER MCALLISTER: So what portion -- so
14 there are three options. The third option, some of those
15 will actually require an ATT because they will involve
16 lighting controls as well, right?

17 MR. STRAIT: Yes.

18 COMMISSIONER MCALLISTER: So I think having the
19 ATTs -- I mean that's why we have ATTs to make sure that
20 those systems function well.

21 I guess any idea of sort of any anticipation or
22 sort of anticipated idea of what portion of the Option 3
23 projects might be touched by an ATT?

24 Actually, before you answer that I want to just
25 back up on something there. The two other options require

1 -- I mean, we're talking about this Option 3, but I think
2 we have a long record that shows that parts of the lighting
3 market have suffered because of complexity. And so the
4 goal of this update that staff has been managing is to
5 simplify where that's going to create more project flowing.

6 And fundamentally if we want to reach our SB 350
7 goals we need more projects and they really need to be done
8 today; they need to be done soon, now. And somebody has to
9 be able to sell it. If they can't sell it it's not going
10 to happen. So I think we have to find that balance of
11 expecting responsible actors in the marketplace to do the
12 right thing and to comply with code, but also not impose
13 too many transaction costs on it.

14 And that's a fine balance. And we do disagree
15 about sort exactly where it sits, but I think we're all
16 really headed in the same direction. And to the extent
17 that new construction and major TI and significant projects
18 that have a relatively high capital cost are happening.
19 Those won't be able to take Option 3. And so we're talking
20 about some subset of the marketplace. And we want them to
21 both get a permit, not go underground, and save a lot of
22 energy.

23 So I think we all agree that we need to look at
24 ways to help that happen. So anyway I guess any idea of
25 what percentage of Option 3 might be touched by an ATT at

1 the end of the project?

2 MR. STRAIT: I'd say most. Not quite all of
3 them, only because some projects will have existing
4 controls that meet all the requirements in the current
5 code. But projects using this option still are required to
6 install automatic shutoff controls that are required to
7 have an ATT.

8 It's worth noting that ATTs, even under the
9 current options they don't conduct verification of the
10 lighting power allowance calculated under the square foot
11 approach either. So they are not coming in and verifying
12 or double-checking that a contractor correctly reported the
13 square footage of the space or the occupancy that the space
14 is expected to have.

15 COMMISSIONER MCALLISTER: So there in the Options
16 1 and 2, in their case are they actually playing that kind
17 of an enforcement role or they are really just doing the
18 technical assessment; is that right?

19 MR. STRAIT: What's required in Code is that they
20 perform a technical evaluation. They perform a series of
21 acceptance tests on the lighting controls. And some of
22 that determines if the daylighting control is required is
23 what's installed a daylighting control that's actually is
24 living up to that name.

25 I do believe they provide as just an additional

1 service an advice to the contractor to say, "You know, I've
2 looked at this and it looks like you need updated controls
3 here, because these don't seem to make sense." But it's
4 not something that the Code requires or expects them to do.

5 COMMISSIONER MCALLISTER: Okay. Are there any
6 other -- I kind of want to invite some of the different
7 parties to reply on some of these issues.

8 Well, what seems to be the issue somewhat is the
9 role of the Building Department and the inspector and the
10 responsibility of the contractor. We've heard, "Oh,
11 contractors do the right thing and they have an incentive
12 to do the right thing." But then others say, "Contractors
13 lie all the time." And so that seems to be a difference in
14 worldview more than anything else, but it's hard to tell
15 right, sitting where I sit.

16 So I guess if anybody has additional comments
17 they want to make them on that. And we can take a minute
18 each, if anybody wants to?

19 Sure. Gene raised his hand or Gene and then Tom.

20 MR. THOMAS: I would just say that at the time of
21 permit application any building jurisdiction that wanted
22 to, if they looked at what the form said were the existing
23 fixtures and it looked fishy to them, "Gee, this building
24 is five years old and it says on the form that they have
25 T12s with magnetic ballasts," they could ask for additional

1 verification at that time. Or they could request a field
2 visit.

3 Even after the fact they could verify by doing a
4 lighting power allowance calculation that -- I think this
5 is what you alluded to -- that would demonstrate that it
6 was below the 85 percent. And then that would virtually
7 make it certain that the fixtures that were attested to as
8 preexisting were what they say they were.

9 But in terms of the, "You can't trust
10 contractors, you can trust contractors" issue? As Peter
11 touched on there is an extensive third-party verification
12 system in place for any projects that get a rebate.

13 So as a program implementer, I mean just our
14 recent contract with City of San Francisco -- it's a \$55
15 million contract. A lot of the savings to be delivered is
16 going to come from lighting, so we would like to see that
17 contract renewed when the time comes. And if their own
18 verification processes, because they go out and look at our
19 installations every day, if they see those as being
20 problematic we don't get renewed. And then we lose that
21 potential revenue.

22 And so the contractors that we supply these
23 projects to, they have to do what we tell them to do and we
24 inspect 100 percent of those projects. And we pre-inspect
25 a significant percent of those projects. So if our

1 lighting specialist does the initial audit and says,
2 "Here's what's on site. Here's what we're recommending,"
3 then we also have a management audit of a percentage of
4 those to make sure that he's characterizing accurately
5 what's there and specifying correctly what makes sense to
6 install.

7 So there are multiple levels of these.

8 COMMISSIONER MCALLISTER: And if the 50 percent-
9 35 percent option turns out not to be the best, then you
10 would go with Options 1 or 2 or --

11 MR. THOMAS: That's what I mean with -- I would
12 suspect that unless somebody is requesting a really cutting
13 edge, "I want a demand-responsive daylighting and sky-lit
14 retrofit," which would be highly uncommon -- the large
15 majority of the time that's probably the option that we
16 would go with, because it's most cost-effective and it
17 makes the most sense. But what it allows is instead of
18 avoiding code-triggering jobs like we're virtually forced
19 to do now we can start doing them again.

20 And as Peter kind of touched on it's hard to not
21 achieve that level of savings. And our recent comments
22 provided some examples of pretty efficient existing
23 lighting that we were able to upgrade and get well over 50
24 percent savings on. So there's no motivation for us to
25 fudge things or for the contractors that we employ to fudge

55

1 things.

2 I mean, most of their revenue comes from these
3 projects that we give to them, so they would lose most of
4 their revenue and possibly their licensing if they were
5 found to be doing fraudulent projects.

6 MR. MCALLISTER: Okay, thanks a lot.

7 Mr. Enslow?

8 MR. ENSLOW: First of all I just got a text that
9 said that some inspectors had trouble calling in and
10 they're on their phone now and wanted to talk about this
11 (inaudible) --

12 CHAIR WEISENMILLER: Well, we've transitioned
13 over.

14 MR. ENSLOW: Okay.

15 CHAIRMAN WEISENMILLER: So certainly (inaudible)
16 --

17 MR. ENSLOW: (inaudible) No, thanks.

18 For as far as enforcement goes our contractors
19 deal every day bidding against projects in which the bids
20 that they're losing to, there is no way they could ever
21 comply with the Code and actually even cover their material
22 costs. I mean, they see this fraud on a day-to-day basis.
23 And study after study shows that this widespread
24 noncompliance. The idea that just simply having people
25 sign a paper will ensure compliance, you know, it's never

56

1 been proven to work. And in fact there's study after study
2 it doesn't.

3 What I find interesting though is that why we're
4 here today, is that the utility incentive programs do
5 require pre-inspection -- exactly what we're saying is
6 necessary here. And that it's been successful and it
7 hasn't hurt the program. And we're asking that that needs
8 to happen for all installations, not just for the utility
9 incentive programs. We're not asking to double up on
10 enforcement. If there is an equivalent utility inspection,
11 maybe that takes the place of acceptance testing. But this
12 pre-inspection -- it's important to the utilities -- it
13 should be important to the Commission. The idea that you
14 can just go into a building and just know by your hunch
15 whether or not they complied is ridiculous.

16 I mean, first of all I think one of the
17 fundamental issues here is this idea that was stated by a
18 staff that just putting in LEDs will get us the level of
19 energy efficiency that we're looking for. That is not
20 true. Putting in an LED will not give you necessarily a
21 50-percent or even 35-percent reduction in most cases.

22 One of the issues we had with the Compliance
23 Manual is originally it had a statement saying that if you
24 replace HID lamps with LED lamps you will get a 50-percent
25 reduction in power consumption. Well the manufacturers'

1 own HID studies show that in almost no case would you get
2 50 percent just by replacing HID lamps with LED lamps.
3 You'd also have to further degrade and alter the lighting.
4 Just doing these replacements does not give you equivalent
5 to what the other pathways give.

6 And that's our concern, is that these installers
7 are going to say, "Hey, we put in LED. Of course we met
8 this." And inspectors will go, "Okay." And that's sort of
9 what we're hearing from inspectors, that's what we're
10 hearing from staff, and it's just simply not true. And so
11 this is why a pre-inspection is needed. It's required by
12 the utilities it should be required by the Energy
13 Commission.

14 COMMISSIONER MCALLISTER: So I want to just state
15 for the record that absolutely we have a stake in
16 compliance and we want this to work. So at the same time
17 we also want projects to not have undue transaction costs
18 imposed upon them that create a disincentive to even get a
19 permit or do the project at all.

20 So again, this is a balance.

21 All the people in the room are involved in this
22 industry on a daily basis. And I think, actually, there
23 isn't a lot of evidence about -- from the lighting sector.
24 You've quoted a lot of evidence in your various filings on
25 different sectors, HVAC and other sectors, that show

1 noncompliance and additional savings when third parties
2 inspect, etcetera. I don't think we really understand that
3 fully for lighting.

4 We do know from the retrofits that that section
5 of the marketplace, that sector, has declined a lot and is
6 actually -- sort of needs pathways that work more for it.
7 So but it's a big marketplace.

8 And I'm actually proud of the fact that we have -
9 - we're pushing a lot of advanced controls into the
10 marketplace. We're getting the field kind of prepared for
11 having truly markets for demand response that actually do
12 have cash flow associated with them. And that's happening
13 alongside all of this discussion we're having, which is one
14 option -- the discussion we're having right now.

15 So all of you who came today I really want to
16 just say thank you for all your input. It's really, really
17 good. So I guess my point is that we -- number one, in
18 order to require ATTS in this -- not commenting on the
19 details of what enforcement ought to look like in sort of
20 making a definitive normative statement about that -- I
21 think we do have enough people in the room that can pay
22 attention to this marketplace going forward and get a sense
23 for whether this fraud is taking place. And sort of roll
24 with the punches going forward according to what the actual
25 project environment looks like and how it evolves.

1 In order to require ATTs in this, though, it
2 would require -- I mean, we've all had this discussion now
3 multiple occasions about the regs themselves and now the
4 compliance manuals. In order to actually require that we'd
5 have to change the regs and that would require an emergency
6 rulemaking. And I certainly don't have an appetite for
7 that. And I think the resources we would have to dedicate
8 to that in the timeframe we have is very difficult to
9 justify.

10 But if there are specific issues we can pay
11 attention to, work on and continue this discussion about,
12 "Okay, what is actually happening out there in terms of
13 enforcement with this option for projects that are taking
14 it," then certainly we need to keep doing that. I mean, I
15 think we all have an interest in compliance.

16 And I agree it's not a matter of, "Oh, that
17 project looks like a good project. We're not going to ask
18 the question whether it got to 35 or the 50 percent."
19 That's not acceptable, because that wouldn't comply with
20 this option. But I think we need to make an educated
21 decision about that before we impose sort of and layer on
22 additional requirements for a given project. Because we
23 can know where that goes and that's where we are today.

24 So in any case, I want to open it up to the dais
25 if there are any comments on it. This gets complicated

1 really fast. Like most things energy efficiency there's
2 forest, but there are also a lot of weeds down in that
3 forest.

4 CHAIR WEISENMILLER: Well again I appreciate
5 people stepping forward, but part of the reality is we had
6 public comment. We were trying to transition out of the
7 dais, so we have (inaudible)--

8 MR. MAHONEY: (inaudible)

9 CHAIRMAN WEISENMILLER: So let's -- Andrew?

10 COMMISSIONER MCALLISTER: Yeah, so I guess -- I
11 mean, identify yourself.

12 MR. MAHONEY: Okay. My name is Greg Mahoney.
13 I'm the Chief Building Official for the City of Davis. And
14 I'm the Chair of the CALBO Energy Commission Advisory
15 Committee.

16 And I just wanted to comment on the inspectors
17 comment that we have never allowed them self-certification.
18 And I don't believe that's true. In fact, the insulation
19 certificates that we require on projects that demonstrate
20 energy compliance are in fact self-certification forms.
21 And we develop those and require those to be completed for
22 CALGreen measures. And so those are widely used and
23 accepted.

24 I'm not really going to speak to what's the main
25 topics here, but just to kind of give my opinion really

1 quickly. I think that rather than focus on starting points
2 and then have to deal with the consequences associated with
3 those we should look more at outcomes and determine where
4 we're trying to get irregardless of where we are now. And
5 just say, "If this an acceptable outcome then we should
6 allow it to be done without the additional controls that
7 may be required on the options."

8 So I think if we focused on outcomes a lot of
9 this controversy would go away. I know it's late in the
10 game to bring that up, but that's my opinion.

11 COMMISSIONER MCALLISTER: Thanks again.

12 CHAIRMAN WEISENMILLER: Next up, please?

13 So we've had two parties pop up on the phone.
14 And again we're trying to transition. And certainly we'll
15 let both speak, but I mean part of the messaging is that
16 Andrew raised a very broad question about compliance.
17 Well, in fact that's going to be a big focus on the Demand
18 Forecasting staff over time. So please data there are
19 great, but at least at this point let's try to move on, on
20 this specific topic. We've got a pretty long day.

21 But anyway, so I will ask Mike Stone from NEMA on
22 the line -- are you still there?

23 MR. STONE: So I'm speaking regarding self-
24 certification in the use of acceptance testers. On
25 allowing self-certification like this is really

1 unprecedented and it might be simpler, but I would assert
2 that it's bad enforcement policy. There's a significant
3 financial incentive to not comply with these rules, but say
4 that you did. And this would create an unlevel playing
5 field for those who do play by rules in lighting retrofits.

6 Some lighting retrofits spoke. That's only a
7 small part of the types of projects that are covered by
8 141.0. It also includes tenant improvements and lots of
9 other types of remodel projects, so this doesn't only apply
10 to retrofit contractors who are with the utility or a
11 public university. And also public universities and
12 schools and hospitals are not inspected by local building
13 departments, so they might have some different types of
14 controls in the projects that are going on there as opposed
15 to the private sector and the vast number of buildings that
16 fall under these regulations.

17 And if you look at Chapter 17 of the Building
18 Code that requires third-party or special inspection for a
19 number of different items that the building official is not
20 able to inspect. So this should really be treated the same
21 for lighting baselines -- to verify them it really should
22 be treated the same. So I'm asking you to support the use
23 of acceptance testers as third-party verifiers. Thank you.

24 And by the way, I represent NEMA, the National
25 Electrical Manufacturers Association. Thanks.

1 CHAIR WEISENMILLER: Thank you.

2 And Leslie Kramer, Stanford?

3 MS. KRAMER: I'm with the Energy Retrofit
4 Programs at Stanford. And I'm basically calling just to
5 show my support for the adoption of Items 5a and 5b. And I
6 agree with all the preceding comments that were made in
7 favor of it.

8 And am particularly concerned about the early
9 adoption of the 2016 Standards, move that forward. As I've
10 said before when I commented earlier we claimed there were
11 about 400,000 kilowatt hours per year in energy savings
12 that we weren't able to obtain, because of all the delays
13 and stalling related to the complexity of the 2013
14 Standards. I think that number is close to a million
15 kilowatt hours now. And as people have said earlier,
16 customers have the option of just not proceeding with these
17 projects and just doing a re-ballasting as things fail as
18 they used to do. And so there won't be any projects to
19 certify if the vendors can't make a case for it
20 economically.

21 And so we are looking for keeping things as
22 simple and efficient as possible, so that these retrofit
23 projects -- and I'm not talking about new construction and
24 TI work, but these unique subset of retrofit projects that
25 are driven by the benefits of the retrofit -- can proceed a

64

1 little bit less impeded. So we're just supporting 5a and
2 5b. Thank you.

3 CHAIR WEISENMILLER: Okay, thank you.
4 Commissioner, that's it?

5 COMMISSIONER MCALLISTER: Any additional comments
6 to put in from staff?

7 MR. STRAIT: The only comment I would make is in
8 regards to self-certification the current form for
9 reporting the lighting power allowance, which looks at the
10 square footage and the occupancy type, is self-certified.

11 COMMISSIONER MCALLISTER: Okay, thanks.

12 I'll move to the dais. Anybody to make comments?
13 No?

14 Okay. So we're on 5a, so I'm going to move Item
15 5a.

16 COMMISSIONER HOCHSCHILD: I second.

17 CHAIR WEISENMILLER: All those in favor?

18 IN UNISON: Aye.

19 COMMISSIONER WEISENMILLER: 5a passes five to
20 zero. Thank you.

21 Let's go on to 5b.

22 MR. STRAIT: All right.

23 CHAIR WEISENMILLER: Please.

24 MR. STRAIT: Thank you, Commissioners.

25 The second part of this item is a compliance

1 option for the 2013 Standards. Fundamentally, buildings
2 can comply with our Standards in one of two ways: By
3 following the prescriptive compliance options in the
4 Standards or by following a performance-based approach to
5 compliance.

6 The specifications in Section 141.0(b)2 of the
7 2013 Building Standards, including those that specify that
8 the lighting controls required for alterations, are
9 prescriptive requirements. Meaning that builders can
10 either implement these requirements as written and comply
11 prescriptively, or can implement measures that create an
12 equivalently efficient building, and comply using the
13 performance approach.

14 In the Rulemaking for the 2016 Standards staff
15 developed a new compliance path for lighting alterations
16 based on achieving a percent reduction lighting power. In
17 doing so extensive work was done to determine percent
18 reduction targets that were equivalent in performance to
19 the existing options of installing up to a certain percent
20 of an area-based lighting power allowance calculation.

21 The percent reduction targets of 35 percent and
22 50 percent were shown to result in buildings with a
23 performance equal to or better than buildings following the
24 prescriptive path to compliance common to both the 2013 and
25 2016 Standards. This is even accounting for the impact of

1 not installing bilevel lighting in buildings that achieve
2 these targets.

3 Because hitting these targets results in a
4 building whose performance meets or exceeds that of the
5 standard design building that follows the prescriptive
6 approach, that building would comply with the 2013
7 Standards under the performance approach to compliance.
8 In recognition of this, and to be responsive to the
9 numerous requests staff received during the 2016 Rulemaking
10 to provide the same relief as the new percent reduction
11 option as quickly as possible, staff prepared a compliance
12 option for the 2013 Standards that would allow compliance
13 based on documenting the percent reduction in lighting
14 power within the space. And that includes relief from the
15 bilevel lighting requirement that applies prescriptively to
16 projects installing 85 percent or less of their allowed
17 lighting power.

18 This option does not implement the specific
19 language of the 2016 Standards, but borrows two of its core
20 concepts and makes use of the compliance form developed for
21 2016. Completing the form is an alternate method of
22 showing that the proposed building's performance will meet
23 or exceed the standard design building. And is therefore
24 an alternative method of demonstrating compliance with the
25 2013 Standards using the performance approach to

1 compliance.

2 Staff therefore requests the Commission's
3 approval of this alternative -- or rather I should say the
4 Commission's authorization of this alternative procedure
5 for demonstrating compliance with the 2013 Standards.

6 I'm happy to answer any questions that you may
7 have.

8 CHAIR WEISENMILLER: Okay. Thank you.

9 So again, we have a number of comments. Some
10 people talked about a and b both, so I'll sort of run
11 through the list.

12 Tom Enslow, certainly can go first.

13 MR. ENSLOW: Good morning, Chair and
14 Commissioners, Tom Enslow on behalf of the California IBEW
15 NECA Labor Management Cooperation Committee, which
16 represents over 1,000 contractors and 30,000 electricians
17 in the state.

18 The Labor Management Cooperation Committee
19 opposes the proposal before you, because 2016 Lighting
20 Alterations Standards proposed for early adoption fail to
21 meet the standards for adoption as an additional compliance
22 path.

23 First the proposal would not be legally approved
24 today, because it was not properly noticed for public
25 comment. Adoption of an additional compliance path

1 requires a notice of public comment period in compliance
2 with Commission approval, requirements of Section 10-110.
3 The proposal before you however, is substantially different
4 than the proposal that went out for public comment.

5 First, the proposal that went out for public
6 comment only proposed adoption (inaudible) compliance path
7 for lighting alterations. The notice did not mention or
8 include applying this path to lighting modifications, and
9 the proposal before you also includes lighting
10 modifications.

11 Second, the notice that went out for public
12 comment proposed adoption of the entire 2016 Lighting
13 Alteration Standards as an alternative compliance path.
14 And the proposal before you carves out just a portion of
15 that proposal and the public hasn't had an opportunity to
16 review and comment on the implications of just adopting
17 that portion.

18 In addition, the proposal violates a prohibition
19 in adopting an additional compliance path that deletes or
20 alters existing requirements or that it would reduce energy
21 efficiency in any particular installation in which it was
22 applied.

23 Here the 35-to-50 percent compliance pathway
24 that's proposed for early adoption does not require
25 installation of two-step lighting controls, multi-level

1 controls, doesn't require compliance with maximum lighting
2 power density and lounge requirements. And doesn't require
3 certain shutoff controls for hallways, stairwells, hotel
4 rooms, display cases, etcetera; all of which are required
5 under any of the pathways under 2.13. And thus in those
6 specific areas of a building they would not be efficient as
7 under the current code.

8 We also oppose early adoption on the grounds that
9 it deprives local agencies sufficient time to address how
10 they will enforce and understand these new requirements.
11 California Building Standards law provides that subsets of
12 Building Standards don't become effective until 180 days
13 after publication. And the whole point is to provide both
14 the installers and local building officials time to be
15 ready to successfully implement these standards.

16 And the 180-day waiting period is particularly
17 important in this case, because of adoption and enforcement
18 of this 35-to-50 percent power reduction threshold has been
19 highly controversial due to the creation of its unique
20 enforcement and verification concerns. By proposing
21 immediate adoption, the Commission is depriving
22 jurisdictions from the statutorily mandated time to learn
23 the new code requirements and determine how the locality
24 will inspect and enforce these requirements. They are the
25 ones that have to put the names in the paper saying that

1 they have approved this installation.

2 January 1st will come soon enough; don't
3 exasperate this controversy. Give building departments the
4 time they need to review and assess these new requirements.
5 Thank you.

6 CHAIR WEISENMILLER: So I'm going to ask staff
7 and Chief Counsel's response on that, but at this point I
8 want to go through and see is there anyone else in the room
9 who wants to comment on this issue?

10 Please.

11 MR. THOMAS: Gene Thomas, Ecology Action.

12 I just remind the Commissioners that staff has
13 already pointed out the statutory authority under which you
14 can approve an alternate compliance path. This is not
15 something that saves less energy, it's something that saves
16 more energy than the current regulations. It is not
17 official, early adoption of the 2016 Standards, only an
18 alternative compliance path. And it will simplify things
19 for the jurisdictions.

20 You've just heard comment that they're only just
21 now getting up to speed on the 2013 Code in large part due
22 to its complexity. This simplifies things for that. Any of
23 them that feel uncomfortable with this alternative
24 compliance approach could opt in to insisting on one of the
25 approaches if they felt that was necessary. Or again, at

71

1 the time of permit application if they don't like the look
2 of what is attested to on existing fixtures, they could do
3 a lighting power density calculation and demonstrate that
4 the retrofit will exceed 2013 Code.

5 I also would like to speak on what Tom Enslow
6 said a couple of minutes ago, that it's very difficult for
7 the LEDs to meet that 35 percent and 50-percent threshold.

8 In our recent comments to the Commission I
9 provided some examples of actual projects, common T8 to LED
10 retrofit examples, that meet the 35-50 percent wattage
11 savings threshold. And some of these are third-generation
12 T8 existing high bays that go to LED retrofit strip and 66
13 percent savings; another T8 starting system to LED, 59
14 percent; another T8 to LED, 66 percent; another T8 to LED
15 69 percent.

16 These are pretty efficient systems to begin with
17 and they can meet that threshold. So it's not rocket
18 science. The people that are taking down the existing
19 fixtures from the ceiling or retrofitting them, and
20 physically looking at the lamps and ballasts and noting the
21 wattages down, are perfectly capable of doing it accurately
22 and reliably. And they would not want to jeopardize their
23 revenue stream by committing fraud and then being barred
24 from participating in utility programs.

25 And in terms of the union contractors having

1 difficulty competing with nonunion lighting contractors
2 that's not hard to understand when they are charging \$120
3 plus an hour union scale for retrofit work that shouldn't
4 require that level of cost. So I know it would be nice if
5 they felt that they were able to better compete with their
6 higher price scale, but that shouldn't be a concern of the
7 Commission. Thank you.

8 CHAIR WEISENMILLER: Okay, thank you.

9 Okay. I'm going to move through the folks;
10 anyone else in the room?

11 (No audible response.)

12 Okay. So now I'll move through folks on the line
13 and give them the opportunity to comment on 5b.

14 Let's start with L.A. County.

15 MR. KASHE: Yes, again this is Mostafa Kashe with
16 L.A. County. As far as the early enforcement I've got over
17 100 combination inspectors, and when it comes to electrical
18 and enforcing the electrical portion of the Code that's the
19 weakest link. I need time to be able to go out there and
20 train my inspectors.

21 So I would encourage the Commission to
22 (inaudible) the 2017, if there's anything for us to be able
23 to enforce that portion. Thank you.

24 CHAIR WEISENMILLER: Thank you. Actually it is
25 in 2017, so you need to start training.

1 Tom James, and then again if you have nothing to
2 contribute on this issue, that's fine. Go ahead.

3 MR. JAMES: I would just like to echo what Aaron
4 Klemm at the CSU, and Leslie Kramer from Stanford, and the
5 energy managers here at UC San Diego and San Diego State
6 have communicated, which is that they need this cost-
7 effective lighting alteration path. They have been
8 paralyzed in numerous ways by the undue transaction costs
9 associated with the 2013 Lighting Control Code
10 requirements.

11 And we all need to see a simpler, more cost-
12 effective method, especially if we want to look at the big
13 picture and recognize that the more budget that needs to be
14 allowed for lighting, is that much less budget that can go
15 to HVAC and other deferred maintenance issues that need the
16 state's attention.

17 And we need better outcomes if we're going to
18 have half a chance to meet our SB 350 goals.

19 CHAIR WEISENMILLER: Okay, thank you.

20 Matt Tracy?

21 Mr. TRACY: No, thank you.

22 CHAIRMAN WEISENMILLER: No?

23 Okay, followed by Rick Brown. Yeah, well Matt
24 Tracy, sir go ahead and speak.

25 MR. TRACY: Oh, I was passing.

1 CHAIRMAN WEISENMILLER: Okay, fine.

2 MR. TRACY: This is Matt Tracy. I don't think I
3 have anything to add to it right now.

4 CHAIRMAN WEISENMILLER: Okay. Thank you.
5 Rick Brown?

6 MR. STRAIT: Just to jump in really quick, the
7 phone has a delay.

8 CHAIRMAN WEISENMILLER: Right, yeah.

9 MR. BROWN: Can you hear me now?

10 CHAIRMAN WEISENMILLER: (inaudible)

11 MR. BROWN: This is Rick Brown on behalf of the
12 School Energy Coalition. Again, we support the staff
13 recommendation of 5b.

14 I would make one comment in addition to what we
15 said earlier. A comment that schools are inconsequential
16 in the scale of things, I think that reflects an ignorance
17 about the scale of what's going on in schools today. In
18 Prop 39 alone, which is just one funding source, 47 percent
19 of the funding is being used for lighting retrofit.

20 Those projects were stalled before this
21 compliance option, this new Option 3, was put on the table.
22 Well, those projects are now moving ahead. And if that 47
23 percent number continues for all of the allocation of Prop
24 39 you're talking about \$700 million just for Prop 39.

25 Next fall there's a measure on the ballot, a

1 school bond facilities measure, for \$9 billion. The polls
2 are saying it's going to pass. I guarantee you a huge
3 portion of that \$9 billion is going to be for lighting
4 (inaudible) and these are prevailing wage and mostly union
5 jobs.

6 So people who think that the schools are an
7 inconsequential part of this don't know what they're
8 talking about. Thank you.

9 CHAIRMAN WEISENMILLER: Thank you.

10 Don Link?

11 (No audible response.)

12 Okay, Mike Stone?

13 MR. STONE: I would like to begin with the early
14 adoption of Standards. And I really don't have much else
15 to add besides what the other folks that agree with me
16 said. Mustafa from L.A. County, I think I'm right on board
17 with exactly what he said. So anyway, I'm against the
18 early adoption. Thanks.

19 CHAIRMAN WEISENMILLER: Okay. Thank you.

20 Leslie Kramer?

21 (Conversation in background on phone line.)

22 COMMISSIONER MCALLISTER: Leslie, are you there.
23 Leslie Kramer?

24 MS. KRAMER: Hi. I'm still here, yes. I think I
25 provided my comments earlier in relation to 5a, just in

1 support of both a and b. So I have no further comments.

2 CHAIRMAN WEISENMILLER: Okay. Thank you.

3 Anyone else on the line to comment on 5b?

4 MR. GOLDTHRITE: Scott Randolph, (inaudible).

5 CHAIRMAN WEISENMILLER: He wasn't on b, but I
6 always want to make sure.

7 Okay. I think we've gotten everyone on the line,
8 checking.

9 Okay. So now let's go to staff and Chief Counsel
10 on the legal question.

11 COMMISSIONER HOCHSCHILD: I'm sorry, if I could
12 just ask a clarifying question? Because I'm sort of
13 ignorant that we're all meeting on the minutia here -- that
14 first speaker mentioned the difference between
15 modifications and alterations. If you could also address
16 what that difference is?

17 MR. STRAIT: Actually as to the 2013 Code,
18 luminaire modifications in place are a subset of lighting
19 alterations, so they're both considered lighting
20 alterations.

21 So first, and Counsel will speak if we need to
22 have more detailed explanation that we would need to make,
23 but the Draft Staff Report was made available to interested
24 parties. And 60 days were provided to submit comments,
25 which was consistent with Section 10-110(a).

1 We did receive comments that indicated ways in
2 which the Staff Report was unclear and we addressed those
3 in revising the draft into the final version. It's worth
4 noting however, that neither the compliance option itself,
5 staff's analysis of the compliance option, or staff's
6 recommendation are changed between the draft report and the
7 final. We feel this stems from a fundamental
8 misunderstanding that the commenter had, related to the
9 proposed compliance option.

10 The Staff Report begins by saying this is not an
11 adoption of the 2016 Code. It is not a change to the 2013
12 Code. Fundamentally, we've made that more clear. And
13 that's why the final report goes into a little bit more --
14 spends a little bit more language saying we're taking a
15 concept out of that. We are not causing language to be
16 adopted early.

17 From a strict perspective we're not engaging an
18 underground regulation nor are we engaging in some process
19 that would cause a regulatory change to happen without a
20 rulemaking process. So the compliance option does not
21 implement the 2016 language. It does not include
22 exceptions or differences in applications specific to the
23 2016 Standards. The comment letter identifies differences
24 between the 2013 and the 2016 language, but erroneously
25 states that the compliance option makes these differences

1 effective, which it does not.

2 The 2013 Standards permit performance based-
3 compliance. The lighting power allowance determined by the
4 percent reduction approach will be below the maximum
5 determined by the square foot calculation. So these
6 lighting power allowances still are applicable and these
7 projects will come in below those. That's why these 35 and
8 50-percent thresholds exist. And that's how they were
9 determined under the 2016 cycle. And in fact, they meet
10 those thresholds under an assumption of the 2016 lighting
11 power allowance values where the 2013 lighting power
12 allowance values are actually somewhat higher, meaning it's
13 easier to come in under those thresholds

14 I mean again, the record shows that buildings
15 using this option will consume less energy than buildings
16 complying prescriptively with what's in Section
17 141.0(b)2(I), noting that this is -- again, it's not
18 allowing buildings to ignore full suite multilevel
19 controls, daylighting controls, or demand-response
20 controls. Rather the current 2013 language does not
21 require those controls when you have efficient lighting
22 systems installed that are below 85 percent of your
23 lighting power allowance. That's the comparison.

24 Something that was up to 100 percent of the
25 lighting power allowance would be required do those

1 controls, but something at 85 percent or lower is not. And
2 these projects will similarly come in below that lower
3 threshold. Buildings with newer and more efficient
4 lighting systems, that would be more challenged in a
5 percent reduction environment, are likely to already have
6 these kinds of controls installed to begin with.

7 I mean, if there's anything specifically that we
8 need to speak to I'm happy to do so, but fundamentally our
9 legal staff has advised us that there's not a legal or
10 procedural reason that we could not do this. Nor is there
11 a legal or procedural error that we've engaged in, in
12 bringing this to you.

13 COMMISSIONER MCALLISTER: Chief Counsel, do you
14 have anything to add?

15 MS. VACCARO: I don't have anything to add. The
16 lead attorney from Chief Counsel's Office, Linda Barrera,
17 is to my right. And she can answer, I think, any specific
18 questions on this matter.

19 COMMISSIONER SCOTT: So I just want to confirm,
20 because we did hear -- and I heard you say it I think --
21 that there was a question on whether or not it was properly
22 noticed and there was a question about whether or not the
23 public had a chance to review and comment. And I think we
24 heard you say at the beginning that there was a 60-day
25 comment period and at the very end, you closed by saying

1 there was no procedural reason to not go forward.

2 I just wanted to confirm that.

3 MR. STRAIT: Yes. I will confirm that.

4 I would note also that I believe the only
5 substantive comment that we had was we only received one
6 comment letter specific to this topic. Many of the
7 comments received on Item 5a were generic and referring to
8 both, but they also were not referring to specific
9 language. We only received one comment letter that had a
10 detailed look at the staff analysis and made detailed
11 commentary on that. And we again, in editing from the
12 draft to the final, we took those comments into account.

13 COMMISSIONER MCALLISTER: So Lead Counsel, do you
14 have anything to add to that?

15 MS. BARRERA: No, not at this time.

16 COMMISSIONER MCALLISTER: Okay.

17 MR. STRAIT: No.

18 COMMISSIONER MCALLISTER: So move the dice?

19 Okay, so I guess the issue that you didn't
20 address just now, Peter, was as to sort of the ability of
21 the local building departments to kind of adjust now versus
22 later. And I guess maybe you could speak to that?

23 MR. STRAIT: Certainly.

24 The way that we've -- the path we charted for
25 compliance on this, is basically to duplicate an existing

1 form. So under the 2013 Code when you're calculating the
2 lighting power allowance for the space there are two forms
3 that you're filling out. There's an LTI-01 and an LTI-03.
4 The LTI-03 is something like a tax worksheet that gives you
5 a number that then goes on the LTI-01 and becomes your
6 lighting power allowance. We've developed a form, LTI-06,
7 that allows you to make the calculation of that number
8 following a different recipe. But that number in the LTI-
9 01, that the building inspector reviews, is otherwise
10 unchanged.

11 The building inspector won't be doing anything
12 differently under this approach. The way that that number
13 was determined is different, but not what the building
14 inspector has to check that's on the form. The LTI-06 form
15 actually copies directly, the same lighting schedule that's
16 on the LTI-01 form that describes the new lighting. So the
17 same description that building inspectors are used to
18 seeing right now for lighting that is on the LTI-01 that
19 describes the new equipment being installed is on the LTI-
20 06 equipment, purposed toward describing the existing
21 equipment that's being removed. So all of this information
22 is already familiar to building officials; they won't be
23 looking at anything that's unusual.

24 We do recognize that there is always a challenge
25 with training to a new set of codes or a new set of

1 requirements. And that's why we kept this as close to
2 status quo as possible and as parallel to existing forms
3 and materials as possible. So we don't see that there's an
4 enormous hurdle in this case. This isn't a brand-new way
5 of doing things from the building inspector's perspective.
6 They're going to have a form that still has a lighting
7 power allowance number. They're going to be looking to see
8 if that lighting power allowance was achieved.

9 And again, the only difference is whether or not
10 bilevel switches are required for that space, which if a
11 building inspector does have a concern they could red tag
12 those controls and say, "I'm not confident that this was
13 met. Please put in the bilevel switching that's required."

14 COMMISSIONER MCALLISTER: Okay, so in terms of on
15 Item a, on your comment about how "Look, we really do -- "
16 I mean we do want enforcement. We do want compliance. And
17 we need to really keep our ear to the ground and eyes on
18 the marketplace to see what happens. And I guess with
19 early application -- so I would like to see that kind of
20 vigilance in monitoring the marketplace certainly as 2016
21 goes into effect in January 1.

22 And now if we approve the early application of
23 these provisions in the compliance manuals that really
24 applies doubly. I mean we really need to see how things
25 play out in the marketplace, understand it and then be

1 willing to come back to the table if there are issues we
2 need to address. And so I'm vehement about that. So I
3 think some good points that were raised on all sides.

4 And so I want to move forward. I want to enable
5 the marketplace to get these projects. I do want to solve
6 the issues that really came up in the 2013 Code, but with a
7 little bit of a caveat that it's not just clear sailing
8 from here on out. There's a complex marketplace that's got
9 -- you know, marketplaces are always a little chaotic. So
10 and that's not necessarily a bad thing, but we really have
11 to pay attention. And I think that's really on us here and
12 our stakeholders out there in the marketplace to tell us
13 what they see in the real terms, bring us the actual
14 information about actual projects, good and bad.

15 So, okay anybody else on the dais?

16 Okay. So I'm going to move for Item 5b.

17 COMMISSIONER DOUGLAS: Second.

18 CHAIRMAN WEISENMILLER: All those in favor?

19 IN UNISON: Aye.

20 CHAIRMAN WEISENMILLER: 5b passes five to zero.

21 Thank you, very much.

22 MR. STRAIT: Thank you.

23 CHAIRMAN WEISENMILLER: I'm going to flip 6 and 7
24 in the interest of caution. I'd like to get both done
25 before lunch. But at a minimum I want to make sure we get

1 7 done, so that we have a number of parties in the
2 audience. We can cover that and let them go.

3 So let's start with 7 and again, Rhetta,
4 hopefully you'll get your short presentation in afterwards.

5 Staff, Jacob?

6 MR. ORENBURG: Good morning, Chair and
7 Commissioners. My name is Jacob Orenberg. I'm the Project
8 Manager for the 2016-2017 Investment Plan Update for the
9 Alternative Renewable Fuel and Vehicle Technology Program,
10 or ARFVTP.

11 Today staff are seeking your approval of this
12 Investment Plan Update. If approved, the current Lead
13 Commissioner Report version will be reissued as an official
14 Commission Report. And this will serve as a guide for our
15 finance solicitations and awards in the coming fiscal year.

16 Also, as part of this agenda item we're including
17 revisions pages 32 and 44 of the Investment Plan Update,
18 which will be added to Commission Report version of this
19 document.

20 These revisions are shown in the back of
21 documentation for this agenda item and have been included
22 at the request of the California Public Utilities
23 Commission. The changes clarify and update language, which
24 did not accurately reflect CPUC activities. They're being
25 made at this time because Energy Commission staff was not

85

1 informed of the need for changes until after the
2 publication of the Lead Commissioner Report.

3 The purpose of the ARFVTP is to provide funding
4 support for projects that reduce greenhouse gas emissions
5 within the transportation sector, which is responsible for
6 about 37 percent of statewide emissions. The projects we
7 fund also contribute to other state goals including
8 improved air quality, increased alternative fuel use,
9 reduced petroleum dependence and the promotion of economic
10 development.

11 To date, our program has awarded more than 606
12 million in funding to more than 545 projects. Our statutes
13 call on us to develop a diverse portfolio of alternative
14 fuels without adopting any one preferred option.
15 Accordingly, we have funded a broad range of project types,
16 including alternative fuel production, alternative fuel
17 infrastructure, alternative vehicle demonstrations and
18 related needs. The projects funded by the ARFVTP are
19 expected to accrue significant benefits for the state.

20 In 2015, the National Renewable Energy Laboratory
21 prepared an updated Benefit Report, which sampled 262 of
22 these projects and projected direct reductions of over 2.4
23 million metric tons of CO2-equivalent greenhouse gases and
24 over 313 million gallons of petroleum fuel from the sample
25 by the year 2025.

1 This chart provides a visualization of ARFVTP
2 projects to date, with each column representing a component
3 of the transportation sector funded through our program.
4 The fuel production category represents about \$135 million
5 divided between ethanol, biodiesel, renewable diesel and
6 biomethane. The infrastructure investment consists largely
7 of hydrogen refueling stations in blue and electric vehicle
8 charging stations in green. This category also includes
9 natural gas, E-85 and biodiesel fuel infrastructure. The
10 funding for vehicles primarily consists of vehicle
11 deployment incentives for natural gas trucks, in purple,
12 and advanced technology hybrid, plug-in hybrid and electric
13 truck demonstration projects in green.

14 We've also supported in-state manufacturing
15 facilities plus other awards such as workforce training,
16 regional readiness planning and fueling standards
17 development.

18 For the 2016-2017 Investment Plan Update we
19 issued the initial Staff Report in October, which was
20 followed by the first Advisory Committee meeting held here
21 in Sacramento, in November. Based on the feedback received
22 we released a revised Staff Report in January and held a
23 second Advisory Committee meeting in Long Beach for
24 additional public input. Last month, we released the
25 proposed Lead Commission Report, which is what we're

1 seeking approval for today.

2 As mentioned, we hosted two Advisory Committee
3 meetings in order to hear from member organizations and
4 state agencies. There are 25 other groups and individuals
5 who also participated in those meetings. We received and
6 considered 27 comments via our Public Docket and
7 participate in ongoing meetings with stakeholders.

8 This slide lists all of the Advisory Committee
9 members for the 2016-2017 Update, who we thank for their
10 contribution to and dedication to our program. This list
11 includes representatives of fuel and technology groups,
12 environmental and public health groups, academic
13 institutions and partnering state agencies.

14 I'll now give a brief summary of this Investment
15 Plan's proposed funding allocations starting with biofuel
16 production and supply.

17 To date the program has funded 50 projects to
18 expand the in-state production of capacity of ethanol,
19 biomethane and diesel substitutes for transportation fuel
20 with a cumulative production capacity of 135 million
21 gallons of fuel per year from these projects.

22 Similar to prior investment plans, this
23 allocation is open to all project stages and a variety of
24 biofuel types. Future grant solicitations may place a
25 higher emphasis on project cost effectiveness, both in

1 regards to petroleum displacement and greenhouse gas
2 emission reductions per ARFVTP dollars spent, as well as on
3 conversion efficiency. The allocation will also continue
4 efforts to support innovative and transformative biofuel
5 technologies. For this category, we're proposing a \$20
6 million allocation for fiscal year 2016-2017.

7 For electric charging infrastructure, the
8 priorities for the upcoming fiscal year include DC fast
9 charger deployment, workplace charging, chargers at multi-
10 unit dwelling residences and underserved areas throughout
11 the state. There may also be a focus on residential
12 charging infrastructure for freight and fleet vehicles,
13 which often have different requirements than conventional
14 charger types.

15 Going forward, we'll continue to monitor the
16 deployment effort by investor-owned utilities, charging
17 station networks, and auto makers to avoid duplication of
18 efforts. Based on the anticipated need for funding, we
19 propose a \$17 million allocation for this category.

20 For hydrogen fueling infrastructure, Assembly
21 Bill 8 of 2012 sets a maximum of \$20 million allocation for
22 the expansion of California's growing hydrogen refueling
23 network. One of the goals guiding the hydrogen refueling
24 infrastructure allocation is to have a network of 100
25 stations throughout the state. California is making

1 progress toward this goal and we estimate that 53 stations
2 will be operational by end of 2016.

3 That said, the Air Resources Board recently
4 predicted that there may be a statewide capacity short-
5 falls for hydrogen refueling as soon as 2021. This will
6 reinforces the need to continue the maximum allocation of
7 \$20 million for hydrogen refueling infrastructure, which
8 should be able to provide for about seven new stations as
9 well as funding for operations and maintenance necessary to
10 support the initial stations.

11 To complete the infrastructure investments we are
12 proposing funding for our natural gas fueling stations to
13 provide an opportunity to increase the use of this proven,
14 readily available alternative fuel. The focus of this
15 allocation is on communities and organizations without
16 access to private capital, which could not otherwise
17 proceed without this funding. We expect this category to
18 emphasize projects in school districts in order to achieve
19 maximum health benefits among vulnerable populations by
20 displacing older diesel buses. For this, we are proposing
21 a \$2.5 million allocation.

22 Moving from infrastructure to vehicles, we're
23 also proposing funding for natural gas vehicle deployment
24 incentives. These vehicles offer opportunities for
25 achieving immediate greenhouse gas emission reductions and

1 petroleum use reduction. In addition a new generation of
2 low NOx natural gas engines are expected to be released
3 this year, which reduce nitrogen oxide emissions by 90
4 percent, compared to the current diesel emission standard.
5 For the coming year, we may place an emphasis on the
6 deployment of these engines.

7 In the prior funding cycle, we saw a strong
8 demand for natural gas vehicle incentives with the most
9 recent incentive round fully reserved in less than one
10 week. Going forward, we will utilize our contract with UC
11 Irvine to determine the need for state incentives in the
12 sector and the levels at which incentives should be set.
13 For natural gas vehicle incentives we're proposing a \$10
14 million allocation for the coming fiscal year.

15 In this Investment Plan Update we've expanded the
16 scope of the medium and heavy-duty vehicle technology
17 demonstration and skill category to meet the goals of the
18 ARFVTP and the state. As in previous years, this funding
19 was open to a broad range of vehicle technologies and
20 vehicle application types. However, the focus for the
21 coming fiscal year is expected to be on sustainable freight
22 and goods movement projects.

23 We may also consider providing funding to
24 enabling of non-propulsion projects such as intelligent
25 transportation systems as well as the fueling

1 infrastructure specifically for the vehicles under this
2 allocation.

3 We're also continuing to scale up a portion of
4 this category to enable a smoother transition from
5 (inaudible) to vehicle commercialization and early
6 deployment. We're proposing a \$23 million allocation for
7 this category to support the expanded scope.

8 In addition to funding for alternative fuel and
9 vehicle projects, our program also funds related activities
10 that contribute to their market success. In this
11 Investment Plan we are proposing \$3 million for the
12 emerging opportunities category, which has traditionally
13 been reserved for federal cost sharing opportunities or
14 projects that weren't anticipated during the Investment
15 Plan development.

16 We're also proposing a \$2.5 million allocation
17 for Workforce Training and Development based on estimated
18 funding needs from our partnering state agencies.

19 And finally, we are reserving \$2 million for
20 regional readiness plans and implementation. Previous
21 awards in this category have helped local governments
22 identify regional activities for encouraging zero emission
23 vehicles, streamlined their infrastructure permitting
24 process, and conducted local outreach and awareness
25 activities.

1 This final slide summarizes all of the proposed
2 funding allocations for the 2016-2017 Investment Plan
3 Update. At this point I'd be happy to answer any questions
4 you may have. Thank you.

5 CHAIRMAN WEISENMILLER: Thank you. First let's
6 do public comment and then we'll see what comments the
7 Commissioners have.

8 Peter Christensen, ARB, thank you.

9 MR. CHRISTENSEN: Well, looking at the clock on
10 the way up I can still say good morning.

11 Thank you for the opportunity to address you
12 today. I'm happy to be here on behalf of ARB and encourage
13 your support of the plan that's before you.

14 You know, as you know ARB and the Energy
15 Commission have a very strong history of working together
16 and making coordinated investments in this area. We think
17 that the plan that's before you today includes an excellent
18 mix of the advanced technology fuel and vehicle projects
19 that are going to help significantly in moving forward to
20 achieve our air quality goals under the federal Clean Air
21 Act as well as our long-term climate change goals here in
22 California.

23 I think one of the things that comes through in
24 the plan is that you have investments that are being made
25 in commercially available technologies, commercially

1 available fuel and vehicle technologies. They're helping
2 to not just make small improvements, but really
3 transformative improvements in the California fleet. And
4 you're also balancing that with investments in pre-
5 commercial demonstration technologies.

6 We think that's particularly important to help
7 bring technologies that are not available yet, today, but
8 to help them advance to help us bring more commercial
9 technologies. That's especially true in the heavy-duty
10 area as we look at the freight sector and trucking in
11 California. So we support the investments that you're
12 making today.

13 I would also just, of course, recognize that your
14 staff -- ARB participates on the Advisory Committee and
15 your staff are very helpful as we go through our funding
16 plan process as well. So I want to thank Commissioner
17 Scott for your leadership in this area, Jacob, and all of
18 the staff in the ARFVTP Program. We look forward to the
19 coming year, thank you.

20 CHAIRMAN WEISENMILLER: Great, thank you.

21 Bonnie Holmes-Gen?

22 MS. HOLMES-GEN: Good morning, Chairman and
23 Members, Bonnie Holmes-Gen with the American Lung
24 Association in California. And I'm pleased to be here
25 today in support of this plan. And I want to thank

1 Jason (sic) Orenberg for all the hard work that was put in
2 and the great job that he and the staff did. I appreciate
3 also Commissioner Scott's work. And I thank all of you for
4 the opportunity to be a member of the Advisory Committee.
5 It's always really wonderful to participate and see money
6 going out to put real clean air projects on the ground and
7 in our communities and I love being a part of that.

8 And we do support the allocations as a balanced
9 portfolio. And this is always the rub here, to develop the
10 portfolio of projects with limited funds that advances the
11 long-term wrap-up that we need toward clean advanced
12 technology and fuels, but still keep those near-term
13 solutions that improve local air quality and health at
14 hand. And this allocation does that and I would note that
15 the pace of the wrap-up that we need is very dramatic to
16 meet our 2030 and 2050 goals, so I'm trying to make sure
17 that we're keeping focused on that long-term goal. It's
18 incredibly important, as you know.

19 I appreciate the increase in the medium heavy-
20 duty demonstration category. I think that's really
21 important, especially for our communities living near
22 diesel hot-spots. And we'd, of course, like to see more
23 funding in that and several categories that advance,
24 especially those that advance zero emission vehicle and
25 infrastructure. But we will be advocating for the GTRF

1 funding allocations of course in the Legislature that will
2 compliment this plan and expand the alternative fuel and
3 vehicle options.

4 I just want to underscore the health benefits.
5 This is why, of course, we're involved in this effort. And
6 the Whitehouse just released last week, a report that
7 underscores the serious public health impacts of climate
8 change. Another report that reminds us of the urgency of
9 transforming away from fossil fuels and moving toward these
10 clean technologies and, of course, this is a critical tool.

11 We'll be releasing our State of the Air Report
12 next week, talking about air quality throughout the state
13 and focusing on these important tools.

14 And I guess, I just have two requests, I'm sure
15 there's many but two. One is that we want to help you get
16 the word out. We want to continue to focus legislators,
17 media and the public on these investments. And you have
18 some great tools on your website, but we need to do more to
19 package and feed this information out and generate public
20 excitement.

21 And part of that, I just would ask if we could
22 think about changing the name. We would talk about that,
23 it's time.

24 CHAIRMAN WEISENMILLER: Yeah. I know.

25 MS. HOLMES-GEN: I can try and brainstorm. I

1 don't have a glib little snippet for you, but something
2 that talks about investments, clean transportation and
3 fuels investments for California -- something that
4 communicates more clearly to the public what this program
5 is. Although, I have to say Commissioner Scott just rolls
6 this off her tongue, this whole acronym, which I'm not very
7 good at.

8 So thank you again. And I'm really happy to be
9 on the Advisory Committee and help support this.

10 CHAIRMAN WEISENMILLER: Well, thank you for your
11 contribution.

12 ChargePoint, please?

13 MR. ROPER: I'm going to speak about Item 9.

14 (Off mic colloquy)

15 Okay, great.

16 CHAIRMAN WEISENMILLER: Let's go on to Eileen
17 Tutt.

18 MS. TUTT: Thank you, Chairman Weisenmiller and
19 Members of the Energy Commission. My name is Eileen Tutt,
20 I'm with the California Electric Transportation Coalition.
21 I also want to thank Commissioner Scott for your leadership
22 on this Committee and the staff has been truly amazing, so
23 you guys have a great team here. And I want to give a
24 shout out to all of them.

25 I truly believe that without this really

1 important funding we would not be where we are in the state
2 today progressing the growth in the market for zero
3 emission vehicles. I think this Commission and your staff
4 play a key role. This money is very important.

5 I'm very honored to be a member of the Advisory
6 Committee and I want to second Bonnie's name change
7 proposal. I'm happy to get together with you and talk to
8 you about options, because I can never get the acronym
9 right. It would be great. It's almost as bad as KFSA.
10 (phonetic) There is one worse than you, just so you know.

11 COMMISSIONER MCALLISTER: Congratulations on
12 saying KFSA actually instead of KFTA, (phonetic) so way to
13 go.

14 MS. TUTT: That one I got down, but I still can't
15 remember the order of letters.

16 So anyway I think we know based on the NREL Study
17 that you guys so effectively that we need a lot more plug-
18 in electric vehicle charging infrastructure -- very happy
19 to see the Investment Plan looking at the needs in the
20 medium and heavy-duty sectors.

21 I also just want to give a quick shout-out to the
22 importance of these regional readiness efforts. A lot of
23 this action and a lot of getting this infrastructure in
24 place is going to rely on local governments. And with
25 regional readiness money has really helped to inspire a lot

1 of those local communities get in this game and help us
2 move to a cleaner zero emission future.

3 So I also want to give a little shout out to the
4 workforce training element of the plan. I think this just
5 reflects the balance of the plan and I very much look
6 forward to continuing to work with you. And I hope that
7 you will approve this plan today. Thank you.

8 CHAIRMAN WEISENMILLER: Thank you.
9 Tim Carmichael?

10 MR. CARMICHAEL: Hello, Commissioners. Tim
11 Carmichael with Southern California Gas Company here in
12 support. I've been a member of the Advisory Committee for
13 a number of years and it was a pleasure to work on this
14 update as well.

15 So first on the Natural Gas section I appreciate
16 the framing and the wording. One detail I want to make the
17 Commissioners aware, Commissioner Scott I'm sure is already
18 aware, that the near zero NOx emission engines are just
19 coming available this month. They're currently only
20 available -- they will only be available in the 9 liter
21 size, which is applicable to refuse trucks, transit buses
22 etc. but not all of the heavy-duty trucks that we think of,
23 and see on the road. That next larger size engine is
24 anticipated for the end of 2017.

25 It's just a detail that is important if the

1 agency is going to prioritize low NOx engines and
2 renewables, which we support. But we need to keep in mind
3 that today given what's available, it's a limited
4 applicability.

5 I want to mention that there's still room for
6 improvement with the use of metrics in evaluating how we
7 divvy up this pie and what we prioritize for funding
8 projects. We've made progress in the time that this
9 program's been in place, no doubt. But as we've talked
10 about at various Advisory Committee meetings, there's still
11 room for improvement there.

12 And finally, I am pleased to announce that the
13 Trade Association has hired a new president. He'll start
14 in a couple of weeks. His name is Thomas Lawson and I'll
15 be introducing him to Commissioner Scott and hoping that
16 there's a seat on the Advisory Committee for him going
17 forward. Thank you very much.

18 CHAIRMAN WEISENMILLER: Thank you.

19 Anyone else in the room?

20 (No audible response.)

21 Let's go to the telephone line, Sekita Grant?

22 MS. GRANT: At this point, Chair and
23 Commissioners, thank you for giving me a few moments to
24 speak. My name is Sekita Grant, Legal Counsel with the
25 Greenlining Institute. And we really focus on supporting

1 strategies that prioritize equity and accelerate the growth
2 of these clean energy, and particularly here, clean
3 transportation technologies and jobs in low-income
4 communities and disadvantaged communities.

5 Thank you for inviting us to participate on the
6 Advisory Committee. This is our first year and we greatly
7 appreciate the opportunity to share our perspective in this
8 space. I just wanted to quickly express support for the
9 2016-2017 ARFVTP Investment Plan. We're really excited to
10 see the final product. It provides -- as usual I've seen
11 this through lots of the years -- but really provides an
12 excellent technical analysis of the various fuels and
13 technologies supported by this program. And also which
14 we're really excited about it, it elevates the importance
15 of diversity in providing meaningful benefits to
16 disadvantaged communities. And we're very excited to see
17 our piece and we look forward to helping to flesh that out
18 in the implementation and in future plans.

19 So just thank you too, Commissioner Scott, for
20 your leadership in this space and helping to keep this
21 state on an aggressive path towards a clean transportation
22 future. And definitely thanks to staff, I know that
23 there's a lot of work that went into this. And a special
24 thank you to Jacob for putting a lot of time and resources
25 into this and really for providing us with another high-

1 quality Investment Plan.

2 So we look forward to seeing and working on its
3 successful implementation and on future plans as well. So
4 thank you for the opportunity to speak.

5 CHAIRMAN WEISENMILLER: Thank you.

6 Do we have any others?

7 MR. MCCLORY: Hello, can you hear me?

8 CHAIRMAN WEISENMILLER: Yes, we can.

9 MR. MCCLORY: Okay. Hi, this is Matt McClory.
10 I'm a Group Manager at Toyota Center and I'm also speaking
11 on behalf of Justin Ward. And we're in support of this
12 Investment Plan Update.

13 First off, I'd like to thank Chairman
14 Weisenmiller and the Members of the Commissioner for this
15 opportunity to comment. And also I'd like to say thank you
16 to Commissioner Scott for this program and a special thanks
17 to Jacob Orenberg for his effort to prepare this update.

18 Last year Toyota recently announced a target to
19 reduce power plant emissions of all new vehicles by 90
20 percent in 2050. In order to meet this aggressive goal we
21 are planning for a significant increase in hybrid vehicles,
22 plug-in hybrid vehicles, fuel cell vehicles, and battery-
23 operated vehicles. Moreover we feel that in 2015 we expect
24 that these technologies will dominate our portfolio also to
25 (inaudible) engines.

1 However, in order to support the vision of
2 pollution and carbon reduction the energy feedstock for
3 these technologies should also target an alternate goal of
4 being renewable on zero carbon. We support the Investment
5 Plan Update in that it continues to provide continuous
6 support for near-term projects on the pathway to this
7 vision. And we look forward to working together to
8 accelerate and expand this effort towards the future.

9 And with that I'll stop there.

10 CHAIRMAN WEISENMILLER: Thank you.

11 Anyone else on the line?

12 (No audible response.)

13 Okay. Let's transition to the Commissioners,
14 Commissioner Scott?

15 COMMISSIONER SCOTT: Great, well I'm really
16 excited to have this Plan here before all of you on our
17 Alternative and Renewable Fuel and Vehicle Technology
18 Program. As you all know, and I won't underscore it more
19 than just to say that transforming the transportation
20 sector really is a critical component to the state meeting
21 both its federal clean air standards, and for us meeting
22 our climate change goals, energy security goals. And you
23 heard many of the commenters kind of underscoring and
24 highlight that for you.

25 So what I will just do is spend a minute saying

1 thank you so very much to Jacob. He's done a fantastic
2 job. This is actually his first year shepherding the
3 Investment Plan from start to finish and so thank you,
4 Jacob, for your terrific work there.

5 We did, I think he mentioned this is his
6 presentation, it was a great public process. We did a
7 meeting here in Sacramento, but we also did one in Southern
8 California in Long Beach. We have been trying to make sure
9 that we get our second meeting in other areas of the state
10 to ensure that we have an additional set of folks who can
11 potentially participate in our meetings if they can't make
12 it to Sacramento.

13 And I want to say thank you very much to our
14 Advisory Committee members for the thoughtful information
15 and advice that they provide to us, the time and effort
16 that they spend on helping the Energy Commission really
17 make sure that this program is the best that it can be, and
18 so I appreciate all of the work that you do and the time
19 that you spend helping us out with that.

20 I wanted to say also thanks to all of our
21 interested stakeholders and commenters who weigh in and
22 also help us to shape the Plan. And to all of the authors
23 who are listed on the inside cover of the report and helped
24 Jacob to put this together.

25 And then let me just -- I wanted just to

1 acknowledge Tim Carmichael, because he has done fantastic
2 work on our Advisory Committee and we'll miss having you
3 there. But I look forward to meeting -- I think his name
4 is Thomas Larson -- I look forward to meeting the new
5 president of the Natural Gas Coalition.

6 And we have out front for folks to take a look at
7 -- actually we have a ride and drive for the Toyota Mirai,
8 so if you're excited about a fuel cell electric vehicle
9 just like I am, please take the time to take a look at it.
10 Go for a ride in it, drive it. Thank you so much to Toyota
11 for bringing that for us today. We've got a BMW out front
12 as well, the i3. These are exciting.

13 The Energy Commission's portion of the funds
14 tends to help support the infrastructure that enables these
15 vehicle and consumers to be able to make the choice of
16 purchasing these vehicles or helping to build the
17 infrastructure.

18 And then we also have a motor, it has an electric
19 delivery truck outside. And it's a fantastic story that
20 Rhett will tell when she gets a chance to make her
21 presentation about where those trucks are deployed. So I
22 hope that all of you will take some time to go and take a
23 look at those.

24 And let me just say thanks to the Air Resources
25 Board for your partnership. You are always awesome to work

1 with and we enjoy the partnership that we have on our
2 Investment Plans. And to Bonnie, to Eileen, to Tim, to
3 Sekita, and that for making the time to call in, in support
4 of the Plan.

5 So with that unless you all have questions, I
6 heartily recommend your approval.

7 COMMISSIONER HOCHSCHILD: I just want to say real
8 quick, I want to thank you. I know how hard you have
9 worked on this, and your staff. But also just to reiterate
10 the point that Bonnie made about the names.

11 It's true, not just of the ARFVTP Program, of
12 other programs we operate here. I do think there's a lot
13 of value to helping communicate to the public what we're
14 doing. You know, whether it's the Clean Air Transportation
15 Program or whatever if you would consider this an
16 appropriate name. But this is a challenge for a number of
17 other programs we operate. I think we focus on so much on
18 implementing the programs successfully that we don't spend
19 enough attention just on the communication side and I think
20 a name is really important.

21 So I do appreciate you raising that, and that
22 applies I think more broadly to state government in
23 general. But as we're doing this just be mindful to the
24 communications.

25 And I just want to say I'm in full support of the

1 Plan. I think it's terrific.

2 CHAIRMAN WEISENMILLER: Well, I was going to say
3 actually for a trivia question, the Energy Commission the
4 first time I was here was not really referred to as the
5 Energy Commission but it was the full -- I'm not sure I
6 could even get it right now -- but Energy and Resource
7 Conservation Development Commission. And so the Commission
8 did a resolution to rename itself, so there's at least some
9 precedence.

10 COMMISSIONER MCALLISTER: Although it still is on
11 the website, when you scroll down to all agencies it
12 appears actually. It's not in that alphabetic order where
13 you would expect it, right? It's in --

14 CHAIRMAN WEISENMILLER: Yeah. Well, I don't know
15 how we got it past the Chief Counsel's Office, but anyways.

16 COMMISSIONER MCALLISTER: So I'll second.

17 CHAIRMAN WEISENMILLER: All those in favor?

18 IN UNISON: Aye.

19 CHAIRMAN WEISENMILLER: All right, five-zero,
20 thank you.

21 Okay. So at this point we're going to have
22 Rhett give a brief presentation. Those of you who want to
23 see more of the (inaudible) program. And as Janea said
24 there's also some vehicles outside, so you have your choice
25 but I certainly encourage people to do both.

1 Please.

2 MS. VACCARO: I'm sorry, I just have a quick
3 question. I may have for some reason missed this. I know,
4 Commissioner Scott, you heartily recommended approval. I
5 heard a second. But I don't know if there was actually a
6 motion?

7 CHAIRMAN WEISENMILLER: Make the motion then.

8 COMMISSIONER SCOTT: I will move approval of the
9 Investment Plan.

10 COMMISSIONER MCALLISTER: I'll second.

11 CHAIRMAN WEISENMILLER: All those in favor?

12 IN UNISON: Aye.

13 MS. VACCARO: Thank you.

14 CHAIRMAN WEISENMILLER: Thank you.

15 MS. DEMESA: Good morning, thank you Chair and
16 Commissioners. I recognize that we're pushing into the
17 lunch hour, so I will be brief. My name is Rhetta DeMesa
18 and I am with Commissioner Scott's Office.

19 I just wanted to take a couple of minutes this
20 morning to provide a brief update to the Alternative and
21 Renewable Fuel and Vehicle Technology Program's Clean
22 Transportation to our website.

23 As we just heard from Jacob and some of the other
24 speakers, the Energy Commission's Alternative and Renewable
25 Fuel and Vehicle Technology Program provides annual funding

1 to develop and deploy innovative technologies that
2 transform California's transportation fleet to help meet
3 the state's ambitious climate and clean air goals.

4 Each year dozens of projects funded through this
5 program are successfully completed and are bringing
6 additional clean transportation options to California's
7 transportation market. To showcase the diversity of
8 successful projects this program supports, each year we
9 select a handful of the successful projects to feature on a
10 section of the Commission's website called "The Driving to
11 Clean Transportation Tour."

12 We've recently gone through the process of adding
13 a couple of successful projects that I thought I'd briefly
14 highlight here today starting with Motiv. Motive Power
15 Systems received \$1.6 million in ARFVTP funding to partner
16 with AmeriPride who are the largest textile rental and
17 supply companies in North America, to retrofit ten of
18 AmeriPride's package delivery vans located at their Vernon,
19 California facility, with all electric drive train systems.

20 This project directly supports 42 jobs, is
21 reducing greenhouse gas emissions each day, and is reducing
22 local pollution in and around the facility location, which
23 is located in a disadvantaged community.

24 AltAir Fuels retrofitted what was once an active
25 refinery in Paramount, California to a refinery that now

1 produces renewable diesel, a drop-in fuel that can be
2 stored, transported and used without infrastructure or
3 engine modification. Through the ARFVTP the Energy
4 Commission provided a \$5 million grant to AltAir to support
5 the second phase of an expansion project that increased the
6 facility's renewable diesel production capacity by 10
7 million gallons per year, bringing the facility's total
8 production capacity to 40 million gallons annually.

9 In addition to the environmental benefits
10 resulting from the increased renewable fuel that will
11 displace conventional diesel, the project is projected to
12 have created over 200 direct and indirect jobs in an area
13 with a 13 percent unemployment rate. This is an exciting
14 project, because the fuel is being produced and used in
15 transportation applications today. In fact, the Department
16 of the Navy has contracted with AltAir to provide a blend
17 of their renewable diesel for use in operations including
18 their Great Green Fleet Initiative.

19 Tim Carmichael alluded to this project a little
20 bit in his comments, but for the next project in
21 partnership with South Coast AQMD and SoCalGas, the Energy
22 Commission's PIER Natural Gas and ARFVTP programs provided
23 funding to Cummins Westport, Inc. to help support the
24 development and on-road demonstration of a new near-zero
25 NOx natural gas engine for use in the medium and heavy-duty

1 truck market.

2 In October of 2015 this engine became the first
3 mid-range engine in North America to receive emission
4 certifications from both the USEPA and the California Air
5 Resources Board that meets the .02 grams per brake
6 horsepower hour options near-zero NOx emission standard.
7 This technology is important for the state's climate and
8 air goals, because it is a near-zero emission technology
9 that offers a real near-term option for the heavy-duty
10 sector to become cleaner and more sustainable.

11 Finally, the California Energy Commission awarded
12 Ontario CNG, Inc. just over \$2.1 million to install a
13 hydrogen fueling station in Ontario, California which is
14 anticipated to be operational in the second quarter of this
15 year.

16 This station is not only part of the initial
17 hydrogen station network the Energy Commission is rolling
18 out across the state, it's also the first fueling station
19 in Southern California to offer all of the major
20 alternative fuels including hydrogen, biofuel, compressed
21 natural gas and EV charging. What's even more cutting edge
22 about this station is that the hydrogen that will be for
23 sale will be 100 percent renewable.

24 As I mentioned earlier these are just a handful
25 of the many successful ARFVTP projects to date. Across the

1 board we have projects that are motivating fleets to
2 expedite their transition to lower carbon fuel options,
3 providing zero emission technologies in areas hardest hit
4 with pollution. And are overall helping to achieve
5 California's climate and clean air goals.

6 To learn more about these projects, as well as
7 other projects funded through the program, we invite you
8 and the public to visit "The Driving to Clean
9 Transportation Tour" on the Energy Commission's website,
10 which we have the link right up there. And with that, I
11 would like to thank you for your time and would welcome any
12 comments or questions.

13 CHAIRMAN WEISENMILLER: Thank you. Thanks for
14 your work on this.

15 COMMISSIONER SCOTT: Great. Yeah, let me just
16 say thank you so very much to Rhett and Kourtney and
17 O'Shea (phonetic) on my team for pulling together this
18 information. And then our web team for getting it posted
19 for us.

20 Some of the folks had mentioned that it'd be
21 great to have ways to highlight some of the projects that
22 we have, this is one way. And so we're trying to work on
23 that. It's always nice, I think, to have a flavor of the
24 type of projects that are being funded with those
25 investments. So I am glad to have that there and the Motiv

1 truck that Rhetta highlighted is outside for us to view.

2 So thank you, Rhetta.

3 CHAIRMAN WEISENMILLER: Okay. So we're going to
4 take a break until 1:05. There are some logistical issues
5 on the dais, but be prompt, be back and please take the
6 Alternative Vehicle Tour.

7 (Off the record at 12:21 p.m.)

8 (On the record at 1:04 p.m.)

9 CHAIR WEISENMILLER: Back in session. Let's
10 go on to Number 8, the University of California,
11 Irvine.

12 MR. FREEMAN: Good afternoon,
13 Commissioners. My name is Andre Freeman from the
14 Fuels and Transportation Division.

15 Just wanted to refresh your memory back to
16 last year in October of 2015 the Energy Commission
17 in collaboration with the University of California
18 Irvine released the Natural Gas Vehicle Incentive
19 Project.

20 The project received approximately \$11
21 million of Energy Commission funding to incentive
22 natural gas vehicle purchases.

23 Today I'm seeking approval of this contract
24 amendment that will provide additional funding to
25 the project from the Energy Commission's Alternative

1 and Renewable Fuel and Vehicle Technology Program.
2 This funding will be utilized to address the current
3 \$9 million incentive wait list and also fund
4 research that will analyze the environmental impacts
5 that these vehicles have on California and identify
6 ways in which renewable natural gas can factor into
7 California sustainable freight initiatives.

8 Previously, the Energy Commission has run
9 solicitations that provided natural gas vehicle
10 purchase incentives through auto manufacturers and
11 vehicle dealerships. Based on lessons learned from
12 these solicitations and information gathered from
13 other successful vehicle incentive programs, the
14 incentives funded by this contract will be provided
15 directly to vehicle purchasers. This new method will
16 help streamline the processing of requests and
17 reduce the amount of time for purchasers to receive
18 reimbursement.

19 These natural gas vehicles can help fleets
20 replace aging gasoline and diesel fleets with
21 cleaner alternatives.

22 Additional benefits from the promotion of
23 natural gas vehicle sector can be achieved with the
24 further development of low NOx engines, natural gas
25 electric hybrids, and biomethane production

1 facilities that are also being funded by the
2 Commission.

3 In addition to implementing this incentive
4 project, the university will collect and analyze
5 information on the usage of vehicles and the
6 resulting environmental impacts. The university will
7 collect information directly from all vehicle
8 purchasers through surveys and will also get data
9 from electronic monitoring systems that will be
10 attached to a portion of the deployed vehicles. The
11 resulting data analysis will help fill a major
12 information gap regarding the real world duty cycles
13 and emissions of these vehicles.

14 The analysis summarizing this information
15 will be available to inform future Energy Commission
16 investments, technical reports, and advise policy
17 decisions on how to meet California's climate change
18 and petroleum reduction goals.

19 The Energy Commission staff are also
20 working actively with staff from the Air Resources
21 Board's Air Quality Improvement Program and Low
22 Carbon Transportation Funding programs which also
23 have funding identified for natural gas vehicle
24 purchase incentives which will be used to maximize
25 and encourage the near term adoption of low NOx

1 engines and renewable natural gas usage.

2 With that, I'd like to thank you for your
3 attention and am available for any questions you may
4 have.

5 CHAIR WEISENMILLER: Thank you. Any
6 comments from anyone in the room or on the phone?

7 Let's go to Commissioner Scott.

8 COMMISSIONER SCOTT: I don't have any
9 questions or comments on this one. If there are no
10 others, I'll move approval of Item 8.

11 COMMISSIONER DOUGLAS: Second.

12 CHAIR WEISENMILLER: All those in favor?

13 IN UNISON: Aye.

14 CHAIR WEISENMILLER: This passes five to
15 zero. Thank you.

16 Let's go on to Item Number 9, DC fast
17 charging infrastructure for California's north-south
18 corridors.

19 MS. LOPEZ: Good afternoon, Chairman and
20 Commissioners. My name is Thanh Lopez, staff in the
21 Zero Emission Vehicle and Infrastructure Office of
22 the Fuels and Transportation Division.

23 Staff is seeking approval of nine proposed
24 awards totaling over \$8.875 million for electric
25 vehicle charging infrastructure projects that are

1 funded through the Alternative and Renewable Fuel
2 and Vehicle Technology Program, or ARFVTP.

3 The Energy Commission's ARFVT Program has
4 funded nearly \$40.7 million for 7,490 chargers as of
5 December 2015. These include Level 1, Level 2, and
6 DC fast chargers at destination, residential,
7 workplace, and commercial sites across California.
8 Of these 7,490 chargers, 120 were DC fast chargers
9 that have been funded to date.

10 The nine projects proposed today would add
11 an additional 61 DC fast chargers to California's
12 fast charging network, bringing the total to 181 DC
13 fast chargers funded by the ARFVT Program.

14 This slide shows the breakdown of DC fast
15 chargers funded by previous ARFVTP solicitations.
16 Highlighted are the DC fast chargers proposed for
17 funding today from Grant Funding Opportunity 15-601.
18 For Program Opportunity Notice, or PON 11-602, some
19 of the fast charger locations include grocery stores
20 along major corridors, college and universities, and
21 retail locations statewide.

22 For PON 13-606, some of the fast charger
23 locations included airports, hotels, grocery stores,
24 parks, and libraries statewide.

25 One of the goals of the Energy Commission's

1 plug-in electric vehicle infrastructure strategy is
2 to support the Governor's goal of reaching 1.5
3 million zero emission vehicles, or ZEVs, on
4 California roadways by 2025. There are several ZEV
5 action plan goals that are related to our ZEV
6 infrastructure and planning that include having
7 sufficient infrastructure available to support 1
8 million zero emission vehicles by 2020, 1.5 million
9 zero emission vehicles on California roadways by
10 2025, and Californians should have easy access to
11 zero emission vehicle infrastructure as current
12 conventional vehicles have access to gasoline
13 service stations.

14 The 2013 ZEV Action Plan also required that
15 a PAC be identified to complete the West Coast Green
16 Highway, which is intended to stretch from British
17 Columbia to the Mexican border in a manner that
18 aligns with California's statement infrastructure
19 plan and the state's regional planning.

20 In October 2013, the governments of
21 California, Washington, Oregon, and British Columbia
22 signed an agreement called the Pacific Coast Action
23 Plan on Climate and Energy, which includes the
24 commitment to transition the west coast to clean
25 modes of transportation and support the states of

1 Washington and Oregon as well as the Pacific
2 northwest portion of the West Coast Electric
3 Highway, currently a network of electric vehicle DC
4 fast charging stations located every 25 to 50 miles
5 along Interstate 5 and other major roadways in the
6 Pacific northwest.

7 California is in the process of completing
8 DC fast charging on highway corridors through the
9 central California region to the Mexican border,
10 including the Bay Area and Los Angeles regions. The
11 map shown here are all of the existing DC fast
12 charging station locations in California as of April
13 2016.

14 According to the U.S. Department of
15 Energy's Alternative Fuels Data Center, there are
16 362 DC fast charging station locations in
17 California.

18 The proposed agreements from the latest
19 grant solicitation will help close the gaps between
20 fast chargers in the Central Valley, extend the fast
21 charging system to the California borders, and
22 provide a secure network of interregional fast
23 charging on our north/south corridors.

24 The proposed projects presented for your
25 consideration provide funding to four organizations

1 to install electric vehicle charging infrastructure
2 along Interstate 5, Highway 99, and U.S. 101.

3 Three proposed agreements with ChargePoint
4 will install 17 DC fast chargers and 16 level 2
5 chargers along Interstate 5 from the Oregon border
6 to Red Bluff and from Sacramento to Santa Clarita.

7 Three proposed agreements with EV Connect
8 will install one DC fast charger and two level 2
9 chargers in San Clemente along Interstate 5, and 20
10 DC fast chargers and 10 level 2 chargers along
11 Highway 99 from Sacramento to Wheeler Ridge.

12 Two proposed agreements with NRG EV
13 Services will install ten DC fast chargers and five
14 level 2's on Interstate 5 and two DC fast chargers
15 and one level 2 charger along Highway 99 from Red
16 Bluff to Sacramento.

17 Finally, one agreement with Recargo to
18 install 11 DC fast chargers and 8 level 2 chargers
19 along U.S. 101 between San Jose and Buellton.

20 The proposed nine agreements will install a
21 total of 61 DC fast chargers and 42 level 2 chargers
22 at 41 sites along Interstate 5, Highway 99, and U.S.
23 101, as shown on the red markers on the map.

24 The purple markers show existing DC fast
25 chargers along the corridors that were identified in

1 the grant solicitation.

2 This DC fast charging network will support
3 alternative transportation fuel and vehicle
4 technology goals of the State of California such as
5 the zero emission vehicle goals of having sufficient
6 ZEV infrastructure that is able to support up to one
7 million vehicles by 2020.

8 Corridor charging gives existing and
9 prospective electric vehicle owners the assurance
10 that they can recharge when driving long distances
11 along a freeway or highway.

12 The deployment of a DC fast charging
13 network will also enable interregional and
14 interstate travel by electric vehicles, and in some
15 cases support the needs of electric vehicle owners.

16 Staff is requesting the Commission support
17 an approval of the proposed resolutions approving
18 these nine agreements.

19 Thank you for your consideration on this
20 item, and I am available to answer any questions.

21 CHAIR WEISENMILLER: Thank you. Let's take
22 public comment. We'll start with ChargePoint in the
23 room.

24 MR. ROPER: Chairman and Commissioners,
25 thank you for the opportunity to speak today.

1 ChargePoint, along with our installation partner,
2 Black and Veatch, are grateful for the opportunity
3 to support the completion of the West Coast Electric
4 Highway. This initiative will enable EV travel to
5 many parts of the state currently unreachable by EV,
6 subsequently supporting a reduction in range anxiety
7 and promoting achievement of the state's EV adoption
8 goals.

9 The Commission's investment is paramount to
10 initiating E vehicle systems in rural areas
11 throughout the state where it may take a private
12 company years to recuperate their investment in
13 absence of Commission funding.

14 These highly visible corridor charging
15 sites will serve both as vital infrastructure for
16 EVs and promote awareness for the general public.

17 Resource commitments from local
18 governments, site hosts, equipment, and installation
19 providers will ensure that the environmental and
20 economic impacts of the Commission's investment are
21 maximized.

22 This initiative will directly create and
23 support jobs in the state. Regional installation
24 contractors will perform installations and our small
25 but mighty corridor deployment team will drive this

1 project for the next two years.

2 We appreciate the flexibility to customize
3 the business model. In ChargePoint's model the site
4 hosts will own and operate the charging equipment.
5 Equipment and installation will be provided free of
6 charge to the hosts and will be backed an industry
7 leading parts and labor warranty that guarantees 97
8 percent up time.

9 Our model will allow site hosts to provide
10 EV charging services and an amenity to attract EV
11 drivers to their business without worrying about
12 recuperating capital costs. Many of our hosts have
13 committed to providing subsidized or even free
14 charging.

15 Furthermore, allowing the hosts to own and
16 operate the charging stations brings them closer to
17 realizing the benefits of EV charging provisions. In
18 our experience, hosts that own equipment and operate
19 charging equipment are quicker to report an issue,
20 promoting station up-times, and are likely to invest
21 in future infrastructure.

22 We also appreciate the Energy Commission's
23 vision to future proof these locations. The 125
24 kilowatt stub-out requirement lays the foundation
25 for the expansion of chargers in the future while

1 minimizing costs, and demonstrates vision to be
2 prepared for tomorrow's vehicles with larger
3 batteries and faster charging speeds.

4 We support the requirement for open point
5 of sale and networking protocols as a way to
6 mitigate stranded assets. Our equipment supports
7 open charge point protocol and is portable to future
8 versions of OCPP as it becomes a standard.

9 To further the open payment protocol
10 effort, ChargePoint cofounded the Roaming for EV
11 Association, or ROVE, a consortium of charging
12 station providers and auto OEMs developing a single
13 payment mechanism that will enable drivers to charge
14 on multiple networks.

15 Coordination with the regional EV
16 coordinating councils was also extremely valuable
17 for this initiative. By leveraging the PEV readiness
18 plans and local knowledge provided by the councils,
19 we were able to optimize site selection, providing
20 maximum benefits to the drivers.

21 These initial discussions have also led to
22 collaborations outside of corridor deployment
23 efforts. Since submitting our proposal we have been
24 in constant contact with the coordinating councils,
25 air pollution control districts, and local

1 governments. These partnerships have proven fruitful
2 in supporting siting efforts, smoothing permitting
3 issues, and utility coordination on other projects.

4 Again, we're grateful to be a part of this
5 historic opportunity. We've already begun
6 coordination with our hosts and partners, and are
7 committed to completing the corridors ahead of
8 schedule and on budget.

9 Thank you.

10 CHAIR WEISENMILLER: Thank you. Anyone else
11 in the room? Let's go to the telephone line and
12 start with PUC.

13 MS. POIRIAR: We have no comment.

14 CHAIR WEISENMILLER: Okay. Then let's go to
15 EV Connect. Oh, please, come on up.

16 UNIDENTIFIED SPEAKER: Hello Commissioners
17 and Commissioner Scott, thank you especially for
18 this funding. And I'm just going to make it brief
19 because I know we're a little bit over already.

20 I'm with Recargo-PlugShare, otherwise known
21 as the app that most of you are familiar with that's
22 finding charging stations, and I just want to thank
23 you for the opportunity that you've potentially
24 given to us to deploy the chargers along 101.

25 I come from Oregon where I did the West

1 Coast Electric Highway in Oregon, so I'm especially
2 appreciative of this to be able to carry on that
3 corridor development in California.

4 And we believe that fast charging is the
5 number one barrier to continuing EV options so
6 supporting funding like this is very important,
7 especially continuing to support that type of
8 funding if we're going to see the 200 mile range EVs
9 succeed, they're going to need the charging
10 infrastructure and we strongly believe that fast
11 charging is our primary focus right now.

12 And not just any fast charging but reliable
13 chargers that EV drivers can expect to come, be able
14 to charge, leave with a charge and not have to wait
15 for somebody else. So we do appreciate the
16 innovation that you guys have included in this
17 funding to allow us to participate. Thank you.

18 CHAIR WEISENMILLER: Thank you. So EV
19 Connect?

20 MR. YAN: We just wanted to say thank you
21 for allowing us to be part of this opportunity. We
22 support the importance of this project.

23 We believe that our software and station
24 management systems will be an important component to
25 the success of our corridors.

1 CHAIR WEISENMILLER: Thank you. Anyone else
2 either in the room or on the line?

3 Okay, then let's turn to Commissioner
4 Scott.

5 COMMISSIONER SCOTT: Great. I'll just kind
6 of underscore some of the excitement you heard both
7 from Thanh about the project and from Ashley and
8 Dedrick and Erik about filling in the West Coast
9 Electric Highway, so this will enable folks, as
10 Thanh mentioned in her presentation, if they would
11 so choose to drive from British Columbia to Mexico.

12 And it's great, I think, for the Energy
13 Commission to have been able to provide support to
14 the chargers that will help with that network.

15 I think you probably noticed also on
16 Thanh's map that we're also funding chargers not
17 just on I-5, which I think is what people think of
18 when you think Washington through California, but
19 99, which is what a lot of state folks use when
20 they're traveling around the state, and 101 as well.
21 So I'm excited that we're being able to hit all
22 three of those corridors.

23 And just say thanks again to Ashley and
24 Dedrick and Erik for being here and speaking in
25 support or being on the phone and speaking in

1 support, and to their teams for their good work on
2 this one.

3 So if there aren't questions, I will move
4 approval of Item 9.

5 COMMISSIONER HOCHSCHILD: Just one quick
6 comment. I'm glad to see we're building chargers and
7 not building walls.

8 I do have a question. Just with fast
9 charging today, the technology for the electric
10 vehicles on the market, how quickly can you get
11 recharged 50 miles or 100 miles? What is the time
12 and do you expect that improve over time?

13 MS. LOPEZ: Yes, currently with the fast
14 charger technology you can get about 60 miles of
15 range for every 20 minutes of charging. We
16 anticipate that that will improve as technology gets
17 better in the future.

18 COMMISSIONER HOCHSCHILD: Great, thank you.

19 COMMISSIONER MCALLISTER: You moved it,
20 right?

21 COMMISSIONER SCOTT: Yes. Do you want me to
22 move it again? I move approval of Item 9.

23 COMMISSIONER MCALLISTER: I'll second.

24 CHAIR WEISENMILLER: Okay, all those in
25 favor?

1 IN UNISON: Aye.

2 CHAIR WEISENMILLER: This passes five to
3 zero.

4 Great, let's go on to Item 10, Quantitative
5 Biosciences, Inc. Thank you.

6 MS. KHALSA: Good afternoon, Commissioners.
7 My name is Akasha Khalsa.

8 Today the Alternative and Renewable Fuel
9 and Vehicle Technology Program staff propose Grant
10 Agreement ARV-15-067 with Quantitative Biosciences,
11 Incorporated, for a \$2 million grant titled
12 Compressed biomethane vehicle fuel and algae feed
13 production via sustainable anaerobic digester biogas
14 purification project.

15 Anaerobic digester feed stock is 20 percent
16 food waste and 80 percent dairy manure. Quantitative
17 Biosciences will design, construct, and operate a
18 pilot membrane gas purification system to produce at
19 least 100,000 diesel gallon equivalents per year of
20 biomethane transportation fuel at Fiscalini Dairy
21 Farm in Modesto.

22 This farm is in a disadvantaged community
23 that according to the CalEnviroScreen has the most
24 impaired water quality in the state. The water from
25 flushing the dairy will be treated sufficiently for

1 reuse on agricultural crops by the design,
2 construction, and operation of a high rate algae
3 pond which consumes wastewater nutrients.

4 Quantitative Biosciences proposed several
5 scientific improvements to enhance the utility of
6 this project with an impressive carbon intensity of
7 negative -2.4.

8 The carbon dioxide from this anaerobic
9 digester will feed the algae during photosynthesis
10 rather than be released into the air.

11 Often coproducts are the economic boost
12 that lets an alternative fuel succeed. The algae
13 biomass as a nutrient rich animal feed has already
14 been widely researched but not yet accepted by
15 dairymen. This grant will add algae to the cow's
16 diet to complete the sustainable carbon cycle.

17 Quantitative Biosciences will write up the
18 technical and economic benefits of the project. This
19 is a hundred percent renewable fuel that will be
20 compressed into a tube trailer and sold offsite for
21 trucks and buses that use compressed natural gas,
22 replacing 100,000 gallons of diesel fuel per year.

23 CHAIR WEISENMILLER: Thank you. So do we
24 have any public comment either in the room or on the
25 line on this? Okay, then Commissioner Scott, again.

1 COMMISSIONER SCOTT: Yes. No comments.
2 Looks like a fantastic project. I'm interested to
3 see how it turns out. So if there's no questions for
4 Akasha, I will move approval of Item 10.

5 COMMISSIONER DOUGLAS: Second.

6 CHAIR WEISENMILLER: All those in favor?

7 IN UNISON: Aye.

8 CHAIR WEISENMILLER: This passes five to
9 zero. Thank you.

10 Let's go on to Item 11, Itron, which I
11 guess will do business in California as IBS.

12 MS. HUTCHISON: Good afternoon, Chairman
13 and Commissioners. I'm Elizabeth Hutchison,
14 Renewable Energy Division. Sitting beside me is Jim
15 Goldman.

16 Energy Commission staff is seeking approval
17 of a two-year contract with Itron, Incorporated, for
18 \$419,930. Through this contract Itron will audit and
19 evaluate the operational performance of solar energy
20 systems that have received incentives through the
21 Energy Commission's New Solar Homes Partnership
22 Program.

23 NSHP provides incentives for solar energy
24 systems installed on newly constructed residential
25 buildings located in the investor owned utility

1 territories.

2 Senate Bill 1 requires the Energy
3 Commission to annually conduct random audits of
4 solar energy systems to evaluate their operational
5 performance. It is proposed in this contract that
6 Itron conduct these audits in consultation with
7 Energy Commission staff.

8 Itron will compare the actual performance
9 of NSHP installations relative to their expected
10 performance and come up with a performance ratio for
11 each installed system.

12 This contract also allows physical audits
13 to be conducted for up to 500 systems. Itron will
14 then estimate what percent of systems are performing
15 within an acceptable range of this average
16 performance ratio.

17 This contract will not include safety
18 audits as the statute does not direct the Energy
19 Commission to do so.

20 Approval of this contract with Itron will
21 assist the Energy Commission in meeting the audit
22 requirements called for in SB1. Itron was selected
23 through a competitive bid process and has
24 demonstrated it is qualified to provide the
25 necessary technical assistance to the Energy

1 Commission.

2 Under this agreement Itron will submit a
3 final report that identifies the average performance
4 ratio of NSHP installations and provides an estimate
5 of the percentage of NSHP systems that are
6 performing within an acceptable range of that ratio.

7 In conclusion, this contract will allow the
8 Energy Commission to fulfill its SB1 mandate to
9 conduct random audits of solar energy systems, and I
10 ask for your approval of this item.

11 Thank you for your time and consideration
12 and I am available to answer any questions.

13 CHAIR WEISENMILLER: Thank you. Any
14 comments on this contract either in the room or on
15 the phone?

16 Let's transition to Commissioners.

17 COMMISSIONER HOCHSCHILD: No comments. I
18 welcome this and look forward to the results. If no
19 other comments I'd move this item.

20 COMMISSIONER MCALLISTER: I'll second after
21 one comment. So Itron will do the full CSI, right,
22 so I think that obviously builds on that and there's
23 a lot of institutional knowledge there related to
24 that.

25 Supplemental metering, do you have -- is

1 there a plan for where to get data from and making
2 sure that there's a good broad based sampling going
3 on and the data is coming from all the places it
4 needs to, which has been a long-term, I won't say
5 problem but it's been a challenge to get the right
6 data from the right folks.

7 MS. HUTCHISON: Yeah, we're trying to make
8 sure that we are getting data across all 16 climate
9 zones in California, and also that will cover both
10 occupancy types, multi-family and single family, and
11 also all the project types such as custom homes,
12 affordable housing, large buildings.

13 COMMISSIONER MCALLISTER: Yeah, that's just
14 good management practice, so I'll second.

15 CHAIR WEISENMILLER: All those in favor?

16 IN UNISON: Aye.

17 CHAIR WEISENMILLER: This passes five to
18 zero. Thank you.

19 Let's go on to Public Interest Energy
20 Research 2015 Annual Report. Erik.

21 MR. STOKES: So good afternoon,
22 Commissioners. My name is Erik Stokes with the
23 Energy Research and Development Division. I'm
24 requesting Commission approval today for the 2015
25 PIER Electric Annual Report.

1 Just a quick bit of background.

2 The final PIER Electric funds were
3 encumbered in June 2013. Energy Commission staff
4 continues to manage the remaining projects as the
5 PIER Electric Program winds down.

6 Eighty-one projects funded through the PIER
7 Electric Program were either completed or remained
8 active in 2015. This report includes summaries for
9 all eighty-one projects including a description of
10 their anticipated benefits to electric rate payers.

11 This report also highlights some of the
12 successes of the PIER Program including synchro
13 phasers which save an estimated \$210- to \$360
14 million annually.

15 And automated demand response, which saved
16 rate payers over \$12 million in 2012 alone, and we
17 expect those numbers to increase in the coming years
18 as demand response is seen as a key strategy for
19 integrating renewables.

20 This report also includes a brief
21 description of some of the lessons we learned from
22 our administration of the PIER Electric Program and
23 how we've applied those toward our administration of
24 the EPIC Program.

25 This will be the last annual report for the

1 PIER Electric Program. We do plan to release a
2 comprehensive final report for the PIER Electric
3 Program that details the program's benefits over its
4 lifetime.

5 Thank you for your consideration, and I'm
6 happy to answer any questions.

7 CHAIR WEISENMILLER: Thank you. Any
8 comments either from the audience or on the phone?

9 I'm the lead on the research area.
10 Obviously this is a good opportunity for us to wrap
11 up to some extent as we transition our
12 accomplishments in this area. I think Erik
13 identified at least some of those.

14 And again, I appreciate staff pushing this
15 along.

16 COMMISSIONER DOUGLAS: Yeah, absolutely.
17 Appreciate those comments and I'll move approval of
18 this item.

19 COMMISSIONER SCOTT: Can I ask one quick
20 question? So I reviewed through the executive
21 summaries and the reports for both of these, and I
22 wondered, there were some neat statistics, Erik,
23 that you mentioned in your presentation that aren't
24 in the executive summary, and I wonder if we're
25 planning to do like a one-pager or something neat so

1 that people, if they don't have time to read the
2 whole report can grab those really cool highlights
3 and just know what the PIER Program has done.

4 MR. STOKES: Yeah, I think that's something
5 we can do, definitely.

6 COMMISSIONER SCOTT: I think that would be
7 great. I will second.

8 CHAIR WEISENMILLER: All those in favor?

9 IN UNISON: Aye.

10 CHAIR WEISENMILLER: This passes five to
11 zero. Thank you.

12 Let's go on to Number 13.

13 MR. STOKES: This is Erik Stokes again. I'm
14 requesting Commission approval today for the 2015
15 EPIC Annual report.

16 This report complies with all CPUC EPIC
17 decisions as well as Senate Bill 96, which was
18 signed into law in 2013. In particular, SB96
19 requires the Energy Commission to prepare and submit
20 to the Legislature an annual report that includes a
21 brief description of each project awarded or
22 completed in the previous calendar year as well as
23 an update for each project underway.

24 The report also provides an overview of the
25 Energy Commission's administration of the EPIC

1 Program in 2015. I'll take the next couple minutes
2 just to provide some highlights of those efforts.

3 In 2015 the Energy Commission released 17
4 competitive solicitations totaling just under \$230
5 million in EPIC funding. Topics covered in these
6 solicitations included micro grids, energy storage,
7 bio energy, and technologies that improve both water
8 and energy efficiency.

9 Eighty-one projects totaling over \$170
10 million were approved at Energy Commission business
11 meetings in 2015. All eighty-one projects were
12 awarded through a competitive solicitation process.

13 Also in 2015 the Energy Commission
14 continued to conduct outreach efforts to increase
15 the participation of underrepresented groups in the
16 EPIC Program. As of December 31st, 2015, 18 awards
17 included a project site located in a disadvantaged
18 community, 20 awards included disabled veteran,
19 minority, women, or LGBT owned business, and 37
20 awards included a certified small business.

21 Also in 2015 the Energy Commission held the
22 first EPIC annual symposium. Over 250 people
23 participated and over 40 projects were showcased.

24 Since all the EPIC projects just began in
25 the last year, we don't have many results to present

1 yet but we look forward to sharing the results of
2 these exciting projects in future EPIC annual
3 reports as well as public workshops and the next
4 EPIC annual symposium.

5 Thank you for your consideration and I'm
6 happy to answer any questions.

7 CHAIR WEISENMILLER: Thank you. Are there
8 any comments from anyone in the room or on the
9 phone?

10 Then again, I think this is a very good
11 summary of the program. We're going to get into a
12 range of things this afternoon that have been
13 issued, but this is a pretty good wrap-up in the
14 annual report.

15 I certainly thank staff for their
16 activities to pull this together. Anyone else have
17 any questions or comments?

18 COMMISSIONER SCOTT: Same comment as
19 before.

20 MR. STOKES: We are working on a
21 highlights, Commissioner Scott, for this program.

22 COMMISSIONER SCOTT: Awesome, thank you for
23 doing that.

24 COMMISSIONER MCALLISTER: If you could
25 provide that to the Commissioners we'd like to see

1 that. So I'll move this Item 13.

2 COMMISSIONER SCOTT: Second.

3 CHAIR WEISENMILLER: Okay. All those in
4 favor?

5 IN UNISON: Aye.

6 CHAIR WEISENMILLER: This item passes five
7 to zero. Great, thank you.

8 Let's go on now to Item 14, Regional Energy
9 Innovation Clusters. We're going to have a summary
10 and then we're going to cover Items b and c, and
11 then we're either going to take off Item a or
12 Commissioner McAllister is going to recuse himself.

13 MS. VACARRO: So I think first if we could
14 have the disclosures as to, I think you have two
15 items where you have disclosures, one with a
16 recusal, and then go ahead and move forward.

17 COMMISSIONER MCALLISTER: Okay. So I want
18 to disclose on Items a and c. On Item a I will
19 recuse, since my former employer, the Center for
20 Sustainable Energy is a sub on Item a.

21 Item c I'm just disclosing UC Davis is a
22 sub on that one and my wife is a professor at King
23 Hall Law School at UC Davis, but there is no
24 conflict here.

25 COMMISSIONER DOUGLAS: And on Item c I'm

1 just disclosing that while this year I'm not
2 teaching any courses at UC Davis Law School, I am
3 talking to them about teaching a course next year
4 and I have taught in previous years, so I just want
5 to make that disclosure.

6 CHAIR WEISENMILLER: Thank you. Staff, go
7 ahead.

8 MS. GONZALEZ: Good afternoon, Chair
9 Weisenmiller and Commissioners. My name is Diana
10 Gonzalez with the Energy Deployment and Market
11 Facilitation Office. I am seeking Commission
12 approval today for three projects selected from the
13 Regional Energy Innovation Clusters competitive
14 solicitation.

15 This solicitation was released September
16 2nd, 2015, for the purpose of supporting the
17 development and commercialization of promising new
18 energy innovations to benefit electric rate payers
19 in Pacific Gas & Electric, Southern California
20 Edison, and San Diego Gas & Electric service
21 territories.

22 As new energy policies are adopted,
23 entrepreneurs must conceptualize and develop
24 innovative new solutions for a cleaner, safer, more
25 affordable, more reliable, and more resilient

1 electric grid.

2 However, many entrepreneurs lack viable
3 market strategies, access to laboratory facilities,
4 business expertise, or merely an understanding of
5 the needs of potential customers, making
6 commercialization difficult.

7 This grant addresses a critical gap in the
8 path to market for energy innovations by providing
9 key services, resources, and infrastructure to
10 energy entrepreneurs in each region.

11 There were a total of 12 proposals
12 received, and 3 will be considered for funding
13 today, for a total of approximately \$15 million.

14 I would like to add that we do recognize
15 there was not a passing proposal for the Los Angeles
16 region, but we have rereleased the solicitation and
17 are scheduled to have the prebid workshop next
18 Tuesday, April 19th.

19 CHAIR WEISENMILLER: Thank you.

20 MS. GONZALEZ: So I'll start with Item b.

21 CHAIR WEISENMILLER: Great, let's do it.

22 MS. GONZALEZ: Okay. Item b is an agreement
23 with Physical Science Innovations, who proposes to
24 accept 12 entrepreneurs annually into the Bay Area
25 Regional Energy Innovation Cluster. These

1 entrepreneurs will benefit from the services
2 provided from the cluster, including technical and
3 business development support, access to national
4 laboratory facilities, and early stage
5 commercialization support.

6 Additionally, entrepreneurs will use the
7 resources to further develop their technologies that
8 will enable a shift to a low carbon economy.

9 Also for consideration is Item c, an
10 agreement with the California State University
11 Fresno Foundation, who proposes to primarily focus
12 on incubation services for entrepreneurs developing
13 energy technologies for the water and agricultural
14 sectors and connecting them with business and
15 economic development organizations in the Central
16 Valley and north state.

17 In an effort to provide these services to
18 over 100 startup companies, the California State
19 University Fresno Foundation plans to leverage
20 existing partner facilities including five
21 California State University campuses at Bakersfield,
22 Chico, Humboldt, Monterey Bay, and Sacramento, and
23 the Sierra Business Council's Small Business
24 Development Center.

25 In addition, the California State

1 University Fresno Foundation will produce outreach
2 events and conferences to publicize energy and water
3 entrepreneurs and innovations including outreach to
4 disadvantaged communities throughout the Central
5 Valley region.

6 Staff is seeking approval for these two
7 items, and I can answer any questions at this time.
8 We do have a representative from the California
9 State University Fresno Foundation here that will
10 provide some comments on behalf of their project.

11 DR. ZOLDOSKE: Is that my cue?

12 CHAIR WEISENMILLER: Yes, that's your cue.
13 Please come up, thank you.

14 DR. ZOLDOSKE: Good afternoon. Dave
15 Zoldoske, Fresno State. And I just want to first
16 thank you for recognizing the Central Valley and the
17 North Coast and our unique challenges there. And we
18 do have lots of DACs as you probably know and we've
19 been engaged with them for many years. Also
20 groundwater pumping and water quality are very
21 energy consumptive, and so appreciate the
22 opportunity to address those particularly in our
23 region as well as food production.

24 So my comments are just to say thank you
25 and to recognize our region and provide support to

1 address those issues, so thank you again.

2 CHAIR WEISENMILLER: Thanks for being here.

3 I think, Commissioners, as you know, part
4 of the transition that we have in EPIC as opposed to
5 PIER is more of a focus on market facilitation, and
6 so this is part of that focus and builds off the
7 prior contract we had on the (inaudible).

8 So again, I think we're trying to put
9 together an ecosystem to really encourage innovation
10 in clean tech and I think these are key parts of it.

11 COMMISSIONER MCALLISTER: Totally agree, so
12 I'll move items b and c.

13 COMMISSIONER HOCHSCHILD: Second.

14 CHAIR WEISENMILLER: All those in favor?

15 IN UNISON: Aye.

16 CHAIR WEISENMILLER: b and c pass five to
17 zero.

18 We'll take a minute while Commissioner
19 McAllister leaves the room.

20 Okay, let's talk about Item a now.

21 MS. GONZALEZ: Okay. Item a is an agreement
22 with Cleantech San Diego, who proposes to provide
23 services for 20 to 25 entrepreneurs annually. This
24 project will provide customized entrepreneurial
25 services including education training, business

1 development, testing facilities, and advisory
2 support to the San Diego region.

3 Cleantech San Diego will work with
4 businesses, local jurisdictions, and other
5 organizations in the region to connect emerging
6 technologies to region specific needs.

7 Staff is seeking approval of this item and
8 I can answer any questions at this time, and we also
9 do have a representative from the Cleantech San
10 Diego that would like to provide some comments on
11 behalf of this project.

12 CHAIR WEISENMILLER: Okay. Please come
13 forward.

14 MR. ANDERSON: Good afternoon. My name is
15 Jason Anderson, President and CEO of Cleantech San
16 Diego. Thank you for allowing me to speak today and
17 for considering adoption of the resolution approving
18 Agreement EPC-15-030 with Cleantech San Diego.

19 We are a nonprofit trade association that
20 positions the greater San Diego region as a global
21 leader in the clean tech economy. We achieved this
22 by fostering collaborations across the public,
23 private, and academic landscape, leading advocacy
24 efforts to promote clean tech priorities, and
25 encouraging investment in the San Diego region, and

1 we've been doing this for about nine years.

2 As proposed, the San Diego Regional Energy
3 Innovation Cluster brings together nine globally
4 recognized business organizations and academic
5 institutions to connect entrepreneurs to facilities,
6 training, and resources that will accelerate their
7 energy innovations to market and transform our
8 region's energy system.

9 The partnership is made up of Cleantech San
10 Diego, Connect, San Diego Venture Group, Imperial
11 Valley EDC, Inland Empire Economic Partnership, the
12 Center for Sustainable Energy, San Diego State
13 University, UC San Diego, and the University of San
14 Diego.

15 This is actually the first time all of
16 these organizations have come together to work under
17 one directive, thereby increasing our collective
18 ability to support energy innovation within our
19 region, help California meet its statutory energy
20 goals, and promote economic development.

21 We're extremely grateful for this
22 opportunity and are excited to support the continued
23 growth of the energy sector in the San Diego region.
24 And I'd like to thank Diana and Erik, all of their
25 staff for all of their support in getting this to

1 this point today. Thank you.

2 CHAIR WEISENMILLER: Thank you. Thanks for
3 being here.

4 Any other comments on this item either in
5 the room or on the phone? Let's transition to the
6 dais.

7 I think I hit it pretty much in the initial
8 part. This is obviously very important and will get
9 broad coverage throughout the state, and this is
10 another piece of that. Certainly San Diego is a very
11 interesting environment. This type of work plays a
12 key part.

13 COMMISSIONER HOCHSCHILD: I would agree,
14 and I would just note that they were the first city
15 in the United States to mandate a hundred percent
16 renewables by 2035 with the support of their mayor,
17 and I think it's added to the momentum there, so I'm
18 really encouraged to see this. Do you need a motion?

19 CHAIR WEISENMILLER: Yeah.

20 COMMISSIONER HOCHSCHILD: I move the item.

21 COMMISSIONER DOUGLAS: Second.

22 CHAIR WEISENMILLER: All those in favor?

23 IN UNISON: Aye.

24 CHAIR WEISENMILLER: This passes four to
25 zero with Commissioner McAllister recusing himself.

1 MS. GONZALEZ: Thank you.

2 CHAIR WEISENMILLER: Thank you.

3 Going on to Item 15, Reducing costs for
4 communities and businesses through integrated
5 demand-side management and zero net energy
6 demonstrations. Staff, go ahead.

7 MR. MEISTER: Good afternoon, Mr. Chairman
8 and Commissioners. You know, Item 15b is going to
9 moved to the next business meeting, I just recently
10 found that out.

11 I have an item to present from competitive
12 solicitation PON-15-308, reducing costs for
13 communities and businesses through integrated
14 demand-side management and zero net energy
15 demonstrations.

16 I'm seeking approval of a \$2,999,591 grant
17 with Prospect Silicon Valley to fund the
18 demonstration of large scale cost effective pathways
19 to achieving maximum energy efficiency in a grocery
20 store.

21 The project, located in San Francisco at
22 Whole Foods Market, will provide \$650,000 to match
23 and has a goal of saving 40 to 60 percent of
24 existing energy.

25 Supermarkets and grocery stores have among

1 the highest energy use of commercial building types,
2 and therefore, are among the most challenging cases
3 to achieve zero net energy among commercial
4 buildings.

5 The solution is to identify a cost
6 effective energy upgrade package for retrofit
7 applications that utilizes innovative strategies and
8 precommercial technologies including HVAC and
9 advanced refrigerants, phase change materials,
10 improved kitchen equipment, occupancy sensing
11 measures, improved lighting and advanced controls for
12 plug loads, which are growing very rapidly.

13 The project will demonstrate lower costs
14 and greater reliability. Dissemination of the
15 findings to the wider market will also result in
16 additional benefits as more markets throughout the
17 state adopt these types of technologies.

18 The project has several partners to include
19 Lawrence Berkeley National Lab, ARUP, San Francisco
20 Department of the Environment, and the Whole Foods
21 Market where the demonstration will occur.

22 I ask for your approval and I'm happy to
23 answer any questions.

24 CHAIR WEISENMILLER: Great, thank you. Is
25 there any comment on this from anyone in the room or

1 on the phone? Let's transition to the dais.

2 This is certainly again one of the research
3 projects that I've been directing. I think everyone
4 knows the importance of zero net energy over the
5 longer term, and particularly this type of retrofit
6 of commercial buildings. So again, I think it's a
7 good project.

8 Other comments?

9 COMMISSIONER MCALLISTER: Yes. Totally
10 agree, great project. We've got to get this started.
11 I mean, our nominal goal for commercial is 2030, so
12 we have a little bit more time than we do for
13 residential but you can't start too soon, and an
14 integrated approach that looks in all the corners
15 for opportunities and really hopes to orchestrate
16 operations of a building and really eventually the
17 vision is to get it behind the scenes automated in a
18 way that it just happens like all the best apps on
19 the iPhone that many of us use. So there's so much
20 potential here and we're just beginning to unlock
21 it, and this is the kind of project that will really
22 make that happen.

23 So I'll move item 15a.

24 COMMISSIONER SCOTT: Second.

25 CHAIR WEISENMILLER: All those in favor?

151

1 IN UNISON: Aye.

2 CHAIR WEISENMILLER: 15a passes five to
3 zero. Thanks.

4 Let's go on now to Item 16, which is
5 reducing the environmental and public health impacts
6 of electricity generation and make the electricity
7 system less vulnerable to climate impacts.

8 MS. VACARRO: Before we move on, I believe
9 there's a disclosure from the dais.

10 COMMISSIONER MCALLISTER: Yes. Again I have
11 a disclosure and not a recusal. Item 16c has UC
12 Davis as a sub. So again, my wife is a professor at
13 King Hall, which is not involved in this project.

14 COMMISSIONER DOUGLAS: And I have the same
15 disclosure, just that I'm talking to King Hall about
16 potentially teaching a law course next year.

17 MS. ZIAJA: Thank you. Good morning -- good
18 afternoon at this point, Commissioners and Chair. My
19 name is Sonya Ziaja from the Research and
20 Development Division. I will be presenting nine
21 proposed grant agreements from an EPIC solicitation
22 released last October.

23 The solicitation addresses several research
24 areas covering indoor air quality, public health,
25 terrestrial and aquatic habitats, climate impacts

152

1 and the water energy nexus, all as relates to
2 California's electricity system.

3 The projects I will be covering today
4 amount to \$6,273,837 with a geographic scope that
5 covers the entire state. Staff recommends funding
6 all eight projects. I will discuss each of these
7 briefly.

8 The first proposed study is by the Electric
9 Power Research Institute for \$799,444. The purpose
10 of this research is to improve understanding of the
11 costs and benefits of electrification, especially as
12 they relate to environmental justice.

13 All of the energy scenarios estimating the
14 evolution of the energy system with deep GHG
15 reductions by 2050 suggest that electrification of
16 energy services as in space heating, heat pumps,
17 electric cars, processed heat in industrial plants
18 from electricity is a very attractive option,
19 however, these studies use very crude assumptions
20 about electrification. The goal of this proposed
21 study is to develop more realistic assessments.

22 Black & Veatch Corporation will develop a
23 prototype interactive mapping tool for California
24 localities that will make environmental,
25 engineering, and electrical distribution grid

1 information available in a single easily accessible
2 online location on the database and web platform.

3 The tool will demonstrate the potential for
4 adapting information for local distributed
5 generation planning for solar PV to reduce
6 environmental permitting and risk, and therefore
7 costs.

8 This tool will integrate aspects of CBI's
9 landscape scale of renewable energy planning models
10 developed for the DRACP, the San Joaquin Valley
11 Solar and Redi 2.0 (phonetic).

12 The research team will also provide
13 guidance to groups that may wish to emulate the
14 process in their own local areas.

15 To assist with improving indoor air
16 quality, a proposed study by UC Davis for \$1.5
17 million will develop and demonstrate approaches to
18 synergistically improve ventilation from indoor air
19 quality during HVAC and whole building energy
20 efficiency retrofits in California schools, with
21 ultimate targets of identifying and demonstrating
22 approaches and technologies needed for ZNE schools.

23 Also relevant to environmental justice,
24 Public Health Institute will develop in conjunction
25 with emerging energy technology experts a workshop

1 to elicit public input to create a public health
2 research roadmap to proactively identify possible
3 risks to human health associated with California's
4 rapid energy transition.

5 This project would be for \$151,000. The
6 goal would be to produce guidance for future
7 research and to anticipating and preventing
8 potential unintended health impacts of emerging
9 energy systems.

10 Another proposed research area by Lawrence
11 Berkeley National Lab for a proposed \$625,000 will
12 make improvements in methodologies and provide
13 better estimates of the electricity used for pumping
14 groundwater. The lab will develop a model based on
15 empirical research as well as fieldwork.
16 Additionally, the project will use qualitative
17 methodologies to elicit information about the actual
18 use and adoption of energy efficient pumping
19 technologies.

20 The research and fieldwork will provide the
21 data necessary to improve reliability of
22 California's electric and water systems in
23 responding to drought occurrences, electricity
24 demand increase, and variable electricity supply.

25 Eagle Rock Analytics for a proposed

1 \$400,000 would provide seasonal and decadal climate
2 probabilistic forecasts tailored for the management
3 and planning of the electricity system.

4 This project is crucial to the energy side
5 of California's fourth climate assessment. The
6 research for the assessment will depend on shared
7 seasonal and decadal forecasts in order to ensure
8 consistency and intercomparability.

9 A proposed study by Lawrence Berkeley
10 National Lab for \$1.5 million would develop smart
11 ventilation systems that are suitable for new and
12 existing advanced and ZNE homes.

13 Smart ventilation systems use information
14 about current thermal occupancy system and air
15 quality conditions to optimize performance for
16 ventilation related equipment.

17 This work will build on efforts of the past
18 decade that have facilitated dynamic ventilation
19 approaches and will be able to inform future
20 enhancements to Title 24 and related regulations.

21 The University of California Berkeley has
22 proposed research for approximately \$500,000 to
23 determine the effect of utility scale solar
24 installations on soil carbon cycle in deserts and
25 arid landscapes.

1 A prior study indicated that large solar
2 farms disturbing soils in the desert can release
3 substantial quantities of soil carbon. Soils in the
4 desert can contain large quantities of carbon but in
5 relatively fragile conditions. However, the nature
6 and magnitude of this potential problem is not known
7 and there is considerable scientific debate about
8 this issue.

9 The researchers will measure the amount of
10 soil carbon in undisturbed and disturbed soils in
11 typical areas that could be used for future solar
12 energy farms.

13 Finally, a project with UC California Los
14 Angeles for a proposed approximately \$600,000 would
15 focus mitigation of bird fatalities and renewable
16 energy facilities by improving knowledge of
17 migratory routes and timing of specific breeding
18 populations.

19 This would extend prior peer reviewed
20 research using gnomes and mapping tools to identify
21 migration routes for future vulnerable and
22 endangered species and assist in determining which
23 breeding populations are at greatest risk.

24 The project will also identify promising
25 sites for future renewable energy facilities that

1 avoid conflicts with migratory birds.

2 The project has also attracted over
3 \$800,000 in matched funding.

4 Staff recommends funding all of these
5 projects and I'm happy to answer any questions.
6 Thank you.

7 CHAIR WEISENMILLER: Thank you. I think
8 most people are aware of the three climate
9 assessments we have had, which have been 30-some
10 studies each.

11 And so now we're in the middle of launching
12 the fourth climate assessment, these are sort of
13 packages of studies that are covering very important
14 areas.

15 One of things I would just highlight for
16 people to keep in mind is that, although we're a
17 very great state, very prosperous, that there are
18 about 100,000 people in the Central Valley that have
19 no heating. They're not served by natural gas so
20 they have propane or other wood or you name it.

21 And so again, just trying to figure out how
22 to target them, particularly some of the
23 electrification strategies, even though some of the
24 trade-offs are in costs and other stuff, but again,
25 it's one of those things that we've really been

1 trying to build into the research activities things
2 to reach out to this the disadvantaged and make sure
3 we're covering the whole state, or all citizens with
4 our research.

5 COMMISSIONER DOUGLAS: I just wanted to
6 comment that I think this is a really strong list of
7 projects and I appreciate, staff gave me a briefing
8 on this and I just appreciate the work and thought
9 that went into it because it's a really good and
10 important set of projects.

11 COMMISSIONER MCALLISTER: One of my
12 frustrations has been -- not frustrations really,
13 but challenge. But when we're talking about really
14 pushing the envelope, again, we also have real world
15 market and cost effectiveness issues and we really
16 have to work hard to check all the boxes, not just
17 the whiz-bang technology boxes, which are kind of
18 sexy in a lot of ways and easy to get people excited
19 about.

20 I think the optimization, just duke it out
21 in the marketplace. Figure out what works, going
22 back, the learning that we do to get really get
23 ready for prime time in all ways is really critical,
24 and that's what enables all our systems to
25 participate.

1 And market evolution takes all sorts of
2 different forms, but I see in this group of projects
3 a real commitment to seeing what works, developing
4 technologies that really work for all Californians,
5 and that are applicable on a mass scale, and that's
6 really what we need to get where we need to go.

7 It's not about photo ops, it's about really
8 getting to everybody, and this is really great
9 projects that demonstrates that fact that we're
10 trying and will produce a bunch of really valuable
11 results, so I'm very excited to support them.

12 So I'll move Item 16.

13 COMMISSIONER SCOTT: Second.

14 CHAIR WEISENMILLER: All those in favor?

15 IN UNISON: Aye.

16 CHAIR WEISENMILLER: Item 16 passes five to
17 zero. Thank you.

18 Let's go on to Item 17, developing a
19 portfolio of advanced efficiency solutions Phase II:
20 Plug load technologies and approaches for buildings.

21 Staff, please.

22 MR. VILLANUEVA: Good afternoon, Chair and
23 Commissioners. My name is Felix Villanueva with the
24 Energy Efficiency Research Office.

25 Today staff is recommending approval of two

1 agreements totaling more than \$1.9 million in EPIC
2 funding. These are the two remaining agreements
3 under solicitation JFO-15-310, developing a
4 portfolio of advanced efficiency solutions Phase II:
5 Plug load technologies and approaches for buildings.

6 The projects I am presenting today are a
7 result of a competitive solicitation.

8 As we know, plug load equipment includes
9 every electrical device that plugs into a power
10 outlet in buildings. As California is approaching
11 zero net energy, plug loads are becoming the fastest
12 growing unregulated end uses in energy for not only
13 residential buildings but for commercial buildings
14 as well.

15 The projects I am presenting today focus on
16 such devices in commercial buildings throughout
17 California. Research is needed to not only increase
18 energy efficiency in these devices, but to
19 understand the relationship between the devices and
20 its users.

21 Today's projects fall within one of the two
22 following funding groups.

23 Funding Group A is develop next generation
24 plug load devices and technologies, and Funding
25 Group B is develop integrated plug load strategies.

1 Staff proposes funding for the following
2 projects.

3 From Funding Group A we have electric plug
4 load savings potential of commercial food service
5 equipment through Fisher-Nickel for \$937,469.

6 The recipient will evaluate the energy load
7 and energy reduction potential of unventilated
8 commercial plug load food service equipment; for
9 example, toasters, food warmers, and coffee burners.

10 Food service facilities are one of the
11 largest energy users in the commercial building
12 sector, consuming as much as five times more energy
13 per square foot than any other type of commercial
14 building in California.

15 There are estimates of over 93,000
16 commercial food service sites within California that
17 use one or more plug load appliance. These
18 appliances contain simple on and off controls;
19 however, most operators have adopted a standard
20 practice of letting these appliances run
21 continuously throughout the day and are often left
22 on overnight.

23 So the team will monitor appliances at five
24 different commercial kitchens in northern California
25 and demonstrate reduced energy consumption through

1 the use of pre-commercial appliance designs and
2 control technologies.

3 If 15 percent of the 93,000 commercial food
4 service sites across California were to adopt high
5 efficiency equipment and routinely implement standby
6 controls, an estimated 362.3 gigawatt hours in
7 energy could be saved annually. This equates to
8 annual reductions of \$54.4 million in operating
9 costs and reduction of 118,000 tons of Co2
10 emissions.

11 Over \$202,000 in matched funding will be
12 provided. Project partners are Davis Energy Group,
13 Fisher Consulting, Opinion Dynamics Corporation,
14 NAFEM, and PG&E.

15 Now, from Funding Group B we have flexible
16 control strategies for plug loads with context aware
17 smart power outlets to mitigate electricity waste
18 and support demand response with the Electric Power
19 Research Institute for \$1,050,022.

20 The recipient will develop control
21 integration and displays in order to integrate plug
22 load systems and other energy consuming systems in
23 commercial buildings that will lead to actual and
24 sustainable reductions in energy use.

25 As I mentioned earlier, plug loads today

1 are predominantly under a manual on and off control
2 with many plug loads left running always on,
3 resulting in wasted energy.

4 A key innovation of this project is the
5 addition and integration of the user presence
6 information for predicting and detecting wasted
7 electricity usage.

8 Presence detection is enabled through micro
9 locating technology, for example, Bluetooth
10 technology, within smart power receptacle outlets.
11 With mobile devices and micro location services,
12 user customized preferences gain mobility in that
13 personalized preferences can follow the user as he
14 or she moves across the building.

15 Another innovation is the development of
16 plug load control contexts that provide a
17 classification for determining appropriate control
18 strategies that may be applied based on the type of
19 building, the space assignment, and the plug load in
20 question.

21 Energy savings estimated at 2,293 gigawatt
22 hours per year. There is also potential of demand
23 reductions of 10 percent.

24 \$335,120 will be provided in matched
25 funding. Project partners are Metric Systems, Ibis

1 Networks, Skycentrics, Southern California Edison,
2 and the San Diego Gas & Electric Company.

3 Staff recommends approval of these projects
4 and I'll be happy to answer any questions. Thank
5 you.

6 CHAIR WEISENMILLER: Thank you. Any
7 comments on this from anyone in the room or on the
8 phone? Let's transition to the Commissioners.

9 MS. MATTHEWS: We have one comment.

10 CHAIR WEISENMILLER: Please.

11 DR. COLEMAN: This is Andrew Coleman. Thank
12 you Chairman and Commissioners. This also includes
13 NASA Ames as part of the project and appreciate the
14 opportunity. And it also will be beneficial to plug
15 loads in laboratories, so it should have wide
16 applications. That's just what I wanted to add.
17 Thanks very much.

18 CHAIR WEISENMILLER: Thanks for being here.

19 I wanted to say I think when we look at
20 energy use, oftentimes we think of lighting in the
21 commercial sector. With LEDs I think we're making
22 significant progress there.

23 But really the other big picture is plug
24 load, which are growing and growing and many areas
25 were sort of preempted from plug load. So this is

1 very important area of research and I think these
2 are pretty good projects going forward will make
3 some progress there.

4 Commissioner.

5 COMMISSIONER MCALLISTER: Yeah, I couldn't
6 agree more. I want to thank really the whole EPIC
7 team and the Chair for his leadership on this.

8 The plug loads are really a unique set of
9 challenges, as the Chair said. And there's a lot
10 going on. This is not the only place where the EPIC
11 program is addressing this. There's some really
12 promising things going on.

13 Back in the day on the food service, we
14 worked with a large chain based down in San Diego to
15 try to figure out, okay, they have these big
16 standalone buildings that are incredibly energy
17 intensive, but they also have a lot of constraints
18 regarding their business. Food service, food
19 preparation, hygiene, air ventilation. And the
20 customer, they have to take care of the customer and
21 make sure they want to actually come in the building
22 and buy the product.

23 So their business imperatives don't always
24 align in their view at least with efficiency and
25 optimization, so hopefully this work here on that

1 front can help evolve things toward a new best
2 practice that does really target these issues and
3 incorporate them.

4 So there's a huge amount of energy to be
5 saved potentially, so I'm glad to see a good team
6 assembled. So I think we're really moving in the
7 right direction. And obviously a big economy like
8 California we can make a huge impact if we can take
9 advantage of all the opportunities we've already got
10 scaled.

11 Anybody else?

12 COMMISSIONER SCOTT: Yeah, I'll just say
13 that it's really exciting to see the innovation in
14 this space. I got a series of excellent briefings
15 from the EPIC staff on a lot of the projects that
16 we're going through right now. What they all
17 mentioned was how they connect with one another. So
18 the energy efficiency moves that we're trying to
19 make, the move to zero net energy and all those
20 things that are driving energy down but plug loads
21 are driving energy up, and so we really need to hit
22 all of those components to make sure that we get
23 where they're going and they all highlighted that in
24 their briefings to me and I wanted to highlight that
25 too to kind of tie it together how it all fits

1 together. So I thought it was great and I'm excited
2 to see these projects coming through.

3 COMMISSIONER MCALLISTER: The modern aspect
4 of the second one as well. We're always talking
5 about data, I'm certainly always talking about data,
6 but the amount of interactivity and data flow just
7 even within a given project onsite to incorporate
8 behavior and actual occupancy in the operation of
9 the building, that's a new frontier and it's
10 complicated, so these projects really are necessary
11 to move that all forward.

12 COMMISSIONER HOCHSCHILD: I agree. I just
13 want to also acknowledge Ken Rider. I know he's
14 worked closely with your team, Laurie, thanks, for
15 all your work on this, I'm in full support.

16 COMMISSIONER MCALLISTER: So I'll move
17 Item 17.

18 COMMISSIONER HOCHSCHILD: Second.

19 CHAIR WEISENMILLER: Okay. All those in
20 favor?

21 IN UNISON: Aye.

22 CHAIR WEISENMILLER: Item 17 passes five to
23 zero.

24 Let's go to 18, Navigant Consulting.

25 MR. BLAIR: Good after Chairman and

1 Commissioners. My name is Nick Blair with the Energy
2 Research and Development Division. I'm seeking
3 Commission approval today for resolution to
4 Agreement 300-15-009 for a \$6,937,889 contract with
5 Navigant Consulting, Incorporated, to conduct market
6 analyses designed to increase the commercial impact
7 of energy technologies funded through the EPIC
8 Program.

9 This contract was the result of competitive
10 solicitation that received four proposals. Today we
11 are recommending funding for the top ranked proposal
12 team.

13 The overall goal of this contract is to
14 provide immediate access to highly specialized
15 knowledge and technical expertise that are outside
16 the Energy Commission's current capabilities on
17 market analysis and trends and path to market
18 strategies for current and future EPIC technologies.

19 Over the term of the this six-year contract
20 Navigant will provide key insights into how the EPIC
21 Program has mobilized the commercialization of clean
22 energy technologies and how future funding decisions
23 can continue this trend.

24 Work from this contract will provide
25 support to the Energy Commission and EPIC awardees

1 by assessing and identifying costly customer
2 problems, primarily for businesses that require
3 energy solutions that can be provided by EPIC
4 technologies and research, by developing go to
5 market strategies for select EPIC projects that
6 define market value potential, identify primary
7 target markets, review existing market channels, and
8 create a detailed approach to achieving success in
9 the marketplace by estimating market opportunities
10 for specific EPIC recipients in critical market
11 segments, and by tracking past and current awarded
12 EPIC technology solutions to monitor successes and
13 more accurately consider future EPIC funding
14 opportunities.

15 This work will provide invaluable
16 information to the Energy Commission and various
17 past, present, and future EPIC awardees that will
18 help move technologies from the research and
19 development phase into full commercialization.

20 I respectfully request approval of this
21 resolution, and I'm happy to answer all questions.

22 CHAIR WEISENMILLER: Thank you. Any
23 comments from anyone in the audience or on the
24 phone? Commissioners.

25 I was just going to say, again, this fits

1 in with the others, as Commissioner Scott indicated,
2 a lot of these tie in together, so this fits well
3 with the innovation clusters and with the seed
4 activity, so all three fit together and this will
5 build off of that. So I think it's a good project
6 and I encourage people's support for it,

7 COMMISSIONER SCOTT: Move approval of this
8 item.

9 COMMISSIONER MCALLISTER: Second.

10 CHAIR WEISENMILLER: Okay. All those in
11 favor?

12 IN UNISON: Aye.

13 CHAIR WEISENMILLER: Item 18 passes four to
14 zero.

15 MR. BLAIR: Thank you very much.

16 CHAIR WEISENMILLER: Okay. Let's go on to
17 Item 19, Itron, which again is IBS in California.

18 MR. CROFT: Good afternoon, Chair
19 Weisenmiller and Commissioners. My name is Josh
20 Croft with the Energy Deployment and Market
21 Facilitation Office. I'm seeking Commission approval
22 today for a \$999,884 contract with Itron.

23 Itron will work with Energy Commission
24 staff and in consultation with stakeholders and
25 subject matter experts to develop a technical

1 assessment of key needs and gaps within ZNE building
2 research, development, demonstration, and
3 deployment.

4 This contract was the result of a
5 competitive solicitation that received six
6 applications. Today we are recommending funding for
7 the top ranked proposal team.

8 Itron will leverage the proposal team's
9 deep experience and expertise with ZNE while
10 utilizing the existing body of ZNE work through
11 secondary data literature reviews, interviews, and
12 other forms of stakeholder input, such as workshops
13 and a web portal.

14 The contract's intent is to identify and
15 analyze the challenges and gaps and research needed
16 to achieve ZNE as a standard and sustainable
17 building industry practice. The team will solicit
18 stakeholder input throughout the formation of this
19 gaps analysis which will be performed over the
20 course of two years.

21 This contract's goals and objectives are to
22 synthesize the input of stakeholders and experts to
23 analyze performance and cost targets for promising
24 ZNE technologies, provide a detailed description of
25 barriers that hinder the adoption of ZNE building

1 technology in the marketplace, analyze stakeholder
2 recommendations on research most needed to achieve
3 cost effective ZNE buildings, and to develop
4 critical indicators of success for ZNE building
5 adoption.

6 Itron's team includes the following
7 subcontractors: New Buildings Institute, EPRI, Davis
8 Energy Group, Integral Group, UC Davis Energy
9 Efficiency Center, and Amerit Consulting.

10 This team includes experts in residential
11 and commercial ZNE construction, experts in
12 behavioral research as it relates to zero net
13 energy, and experts in the latest commercial zero
14 net energy building technologies.

15 This wide range of expertise enables the
16 team to produce a quality gaps analysis that
17 encompasses the goals and objectives that were
18 mentioned earlier.

19 Staff respectfully requests approval of
20 this resolution and I'm happy to answer any
21 questions.

22 CHAIR WEISENMILLER: Thank you. Any
23 comments from anyone either in the audience or on
24 the phone? So hearing none let's go to Commissioner
25 discussion.

1 Like I said with plug loads, obviously the
2 other sort of key emphasis is on zero net energy,
3 which obviously is not going to be easy, and so
4 trying to fill in some of the gaps.

5 When I was in China at Tsinghua University,
6 we basically got beat up on the concept of zero net
7 energy. And we often think of suburban tract houses.
8 Chinese housing were 20-story high-rises, so they
9 were doing the math and ensuring me this would never
10 work there. I said, yeah, I know.

11 But anyway, but certainly the notion of
12 combining renewables and energy efficiency into one
13 project is incredibly important, so again I would
14 urge people to support it.

15 COMMISSIONER MCALLISTER: So I agree with
16 all that. And actually on the consent calendar we
17 did approve a pretty aggressive solar requirement
18 for the City of Santa Monica, who pushed that
19 forward so we didn't talk about it because it was on
20 consent, but requirements for how much PV you put
21 per square foot of floor space in a building. Well,
22 it's not trivial, it really matters in terms of a
23 ZNE building.

24 I guess I just wanted to note -- thanks for
25 your presentation, Josh. I wanted to note that there

1 has been a lot of work, as you mentioned, on ZNE.

2 Our goal is looming for a single family.

3 And actually I would say to a large extent
4 many of the technologies exist already for a single
5 family that we need to implement now in the Building
6 Code, so obviously technology development is
7 important, but still going forward after that as we
8 seek more coverage and cost effectiveness.

9 But I think commercialization and getting
10 costs down there are really the priorities for
11 single family. So I'd kind of like to see, make sure
12 that we press on the contractor to focus on some of
13 the issues that are really truly market relevant in
14 the near term for that, because we do have urgent
15 goals. So maybe that suggests more of a commercial
16 focus or at least a different kind of focus on
17 single family versus commercial.

18 And certainly we worked relatively
19 recently, within the last few years, with the PUC to
20 produce the ZNE roadmap, which is pretty high level,
21 pretty general in coverage, but it does have a lot
22 of the issues that the contractor here is going to
23 need to look at, so hopefully we'll be working in
24 close coordination with them.

25 More of a voluntary market approach, that's

175

1 their shake at the PUC because they're pushing
2 markets. We need more code relevance, but I think
3 it's really important to keep close coordination
4 with them on the research agenda. Obviously EPIC
5 does that since the funding comes from rate payers.

6 The cost targets and being very clear about
7 the metrics, those are all the suggestions that I
8 would have at a high level, but certainly it's a
9 good project. There's a lot at stake. We need to be
10 very clear about ZNE and how we approach it.

11 So I'll move Item 19.

12 COMMISSIONER DOUGLAS: Second.

13 CHAIR WEISENMILLER: Okay. All those in
14 favor?

15 IN UNISON: Aye.

16 CHAIR WEISENMILLER: Item 19 passes four to
17 zero. Thank you.

18 Let's go on to Item 20, which is the
19 minutes for March 9th.

20 COMMISSIONER DOUGLAS: Move the minutes.

21 COMMISSIONER SCOTT: Second.

22 CHAIR WEISENMILLER: Okay. All those in
23 favor?

24 IN UNISON: Aye.

25 CHAIR WEISENMILLER: Minutes are approved

1 four to zero.

2 Lead Commissioner and Presiding Member
3 reports. Commissioner Scott?

4 COMMISSIONER SCOTT: Sure, I have a couple
5 highlights for you all today, and actually I'm going
6 to look to Alana for just a second to see. Are you
7 going to highlight the diversity career fair in your
8 report? Okay. I might want to add on whatever else
9 she would like, but I just wanted to make sure.

10 I know that you all know that we are having
11 a diversity career fair here at the Energy
12 Commission on Friday, April 29th. It starts at 10:00
13 a.m. I have done my best to email the flyer out to
14 folks that I know and ask them to spread the word. I
15 hope that I can encourage my fellow Commissioners
16 and other folks around the room to take a look at
17 that and spread the word to folks that they know so
18 we have a really great turnout for our first
19 diversity career fair.

20 I will highlight for you, a few Fridays ago
21 -- I think I may have mentioned this already, but a
22 few Fridays ago I did get to attend United Airlines
23 first commercial flight that was using renewable
24 diesel, which was really awesome. It was at LAX and
25 it was flying from there to San Francisco Airport.

177

1 With the amount of fuel that they were
2 contracted to purchase, which is about 15 million
3 gallons, they can do about 12,500 flights between
4 LAX and San Francisco.

5 And what's really exciting about it as
6 well, although the Commission didn't fund this
7 portion because it's jet fuel, but it's that same
8 facility, the Altair facility that Rhett had
9 mentioned in her presentation that has been able to
10 scale up enough that not only can they do renewable
11 diesel for the on-road sector but they can do it for
12 higher fuels and for the Green Fleet for the Navy as
13 well.

14 So I was pretty jazzed, that was very
15 exciting. There were eight speakers and they held us
16 strictly to our time limit because we spoke before
17 the flight left, and of course they don't want the
18 story of the first flight of commercial biofuel to
19 be late because of all the speeches. It was not late
20 and I believe it landed on time.

21 I wanted to just mention last week I was at
22 the Department of Energy's hydrogen and fuel cell
23 technology advisory committee. Katherine Dunwoody
24 from Air Resources Board and I represent the state
25 of California on that committee.

1 This is fantastic because a lot of what DOE
2 does is in the research space and a lot of the
3 research is early research, and California is in the
4 pre-commercial and standing of the industry space,
5 and so to really be able to talk with each other,
6 understand what's going on both in DOE and what
7 they're looking at, what their priorities are, what
8 the State of California is looking at, what our
9 priorities are, and the good partnership that we
10 have together to complement one another to bring
11 hydrogen to the commercial space has been great.

12 I wanted to note that in the 2005 Energy
13 Policy Act that was where this advisory committee
14 was formed and they said in 2015 what we'd like to
15 do is enable the ability to make a commitment to
16 commercialization by 2020.

17 The committee had a little bit of a
18 discussion about where are we on that, because in
19 California we're quite a bit ahead of the rest of
20 the nation, and so does that count as, oh, we're in
21 the space we need to be to say we've met that goal.

22 And we all recognize that there's quite a
23 bit more that needs to be done even here in
24 California, of course, to continue the
25 commercialization, but that was a fun spirited

1 discussion around the table of the advisory
2 committee members.

3 I also wanted to highlight because Jean
4 Barones from our transportation team attended the
5 meeting. She gave a fantastic presentation, just
6 knocked it out of the park. And the depth of
7 knowledge and expertise that she brought to her
8 presentation, her enthusiasm in the space.

9 And it was a little bit funny because when
10 she finished, you know you have the thing where you
11 set your card on the side and that's how the chair
12 knows to acknowledge you to make comments. They were
13 cutting each other off to be able to tell Jean how
14 fantastic they thought she had done, and that they
15 felt like with someone like her and other folks like
16 her around the table in California they felt sure
17 that we could get where we were trying to go. And it
18 was just a really nice compliment and I thought she
19 did a great job, so I wanted to highlight that here
20 for you all.

21 And then my last note is I just want to say
22 thank you so much to Courtney Smith who served as my
23 adviser. She was diligent and smart, terrific,
24 fantastic to work with. I'm completely heartbroken
25 to be losing her from my team, but so wonderfully

1 excited for the Commission that we get to retain her
2 talent.

3 And I want to say congratulations to her as
4 well. I know she's not here today but I'll be sure
5 to pass it along, as she takes on the Renewables
6 Division, so I'm really excited for her and wanted
7 to make sure to thank her for her great work.

8 COMMISSIONER MCALLISTER: And I think
9 Suzanne will be around long enough to have a
10 transition, right, because she also has just done an
11 incredible job.

12 COMMISSIONER SCOTT: As well for sure.

13 COMMISSIONER MCALLISTER: She's a star as
14 well.

15 So I was actually gone for much of the
16 month, but since the last business meeting, I
17 actually got on a plane to New Zealand so I shall be
18 brief.

19 New Zealand actually, from an energy
20 perspective it was super interesting, but I won't
21 get into that. There actually are some people that
22 studied at UC that actually work there and are
23 pushing the energy envelope there too, so we have a
24 major impact globally, not just nationally.

25 But really just a couple of things.

1 Codes and standards work is just moving
2 forward on a bunch of different fronts and I just
3 want to congratulate the team for getting a lot of
4 throughput and really getting things done. There's a
5 lot of good stuff on the table and lots of
6 stakeholder interaction and it's all, I think, very
7 positive and can help save a lot of energy for the
8 state.

9 Let's see. Just a couple things really.

10 On the 31st a delegation of Mexican
11 officials were here and at UC Davis for the most
12 part, but I was able to interact with them on R&D
13 and the energy efficiency realm, and I thank Laurie
14 and Virginia for supporting that presentation. It
15 really went well.

16 There's a lot of opportunity to do R&D
17 transfer, not necessarily tech transfer but R&D
18 transfer and then manufacturing promotion really
19 about Mexico and its reforms and its energy
20 efficiency efforts. And I think particularly in the
21 lighting sector there's just so much opportunity
22 there. And they have a manufacturing environment
23 that can really enable them to scale quickly, so I'm
24 pretty excited about keeping engaged on that front,
25 and hopefully there's some industry partners that

1 can be brought to that and help it happen down
2 actually in Mexico and that'll help all of us
3 really.

4 And then finally, and I'm sure Chair
5 Weisenmiller will talk about this, but the OSO
6 hearing down there. It was an exciting time and I'll
7 let you cover the topics, but it certainly
8 highlighted to me how important and how it put a
9 broad set of faces on that issue. I mean, we know
10 how important it was for the state but I think it's
11 going to be engaging for a long while and I really
12 appreciate your leadership on that as we move into
13 summer and as we move beyond that into winter and we
14 have to deal with the gas supply issues that are
15 definitely going to be with us for awhile.

16 So big deal but solutions are there and
17 we're going to have to go for them and grab them by
18 the ears and make them happen, particularly on
19 efficiency.

20 I'm actually kind of excited that it's
21 creating such a stir in the efficiency realm and I
22 think there's some creative thought that's resulting
23 from that which can help us much beyond.

24 So that's it.

25 COMMISSIONER DOUGLAS: You know, I also

1 took a little time off over the past couple of
2 weeks. There was Spring Break and there was a family
3 visit as well, so I don't have any reports right now
4 and look forward to hearing the Chair's report.

5 CHAIR WEISENMILLER: I'll cover three
6 things, which I've done since the last. I'll sort of
7 do them chronological.

8 So in early March I went back to DC to
9 testify before the NRC. They had a meeting, I guess,
10 to be precise on the terminology, with the
11 Commissioners to discuss decommissioning.

12 And basically, decommissioning, the NRC has
13 never had a very coherent policy there. And what it
14 does is when a plant stops operating, like San
15 Onofre, it's obviously no longer an operating power
16 plant, so they look at the permit requirements for
17 an operating a power plant and they decide, well, we
18 could release the applicant from many of those
19 conditions.

20 And applicants have 60 years to
21 decommission a site, and they have standards for
22 that. But again, so they started before, this was
23 before 9/11 to have a more coherent process to say
24 as a regulator what should you really be looking at
25 when decommissioning. And they stopped with 9/11 and

1 so but now have picked it up again. And a lot of
2 their focus has shifted from permitting new plants
3 to decommissioning existing plants, so it's
4 certainly timely in a number of states.

5 The industry was there and obviously kept
6 emphasizing that efficiency was important, and I was
7 one of the state representatives saying, actually,
8 in the whole context ideally talking about trying to
9 move more to a consent based approach on long term
10 storage of waste, that they should really be
11 thinking about a much more consensual process on
12 decommissioning that really brings in state and
13 locals and decision makers, and certainly the
14 community.

15 I mean, SMUD -- in the case of San Onofre
16 there's a community engagement panel, which is a
17 voluntary ad hoc thing that Edison has done.

18 So one of the things we were recommending,
19 or I was recommending, was that that be more
20 formalized and that they have much more of an
21 outreach to various entities on the state and local
22 level to get their participation.

23 And something that came up is, again, they
24 just stopped operating so you could stop monitoring
25 emissions from the plant. The applicant, I don't

1 know if they just turn off any radiation detection
2 equipment.

3 And so certainly New Jersey made this
4 point, well, actually, just leave it operating. At
5 least we know if something happens.

6 But that goes away, emergency planning goes
7 away.

8 We also ran into this at (inaudible) and
9 San Onofre which got rejected by them, was that
10 instead of just saying the plant is either operating
11 or not, that an issue is have you put the spent fuel
12 into casks. That has a big impact as the radiation
13 decays and then finally move it into casks or maybe
14 even eventually move it offsite, you would think the
15 regulatory conditions and the monitoring, etcetera,
16 emergency planning would continue through that
17 spectrum.

18 Certainly that will be interesting to see
19 what they do. This was sort of advanced rulemaking,
20 they're starting a rulemaking proceeding to deal
21 more formally with it next year. So that's the
22 positions we're taking.

23 Then I went to Berlin.

24 COMMISSIONER SCOTT: Can I ask one quick
25 question before you transition?

1 CHAIR WEISENMILLER: Sure.

2 COMMISSIONER SCOTT: When you were making
3 those recommendations did you feel like the NRC was
4 interested in those and going to take them under
5 consideration, or what was the response to the
6 recommendations that you were making?

7 CHAIR WEISENMILLER: It was mixed, it was
8 mixed. I mean, there was one Commissioner who was
9 clearly trying to get the point out that nothing has
10 gone really that long yet in decommissioning. And
11 with keeping costs down and efficiency.

12 And others seemed to be more at least
13 thinking about it. But again -- and as we were
14 walking in we're all looking around and, as I said,
15 just at the mixture of folks seeing that obviously
16 some people had already seen.

17 There were very strong comments from a
18 number of people but there were very strong anti-
19 comments from industry and the staff was certainly
20 not seeming to be that helpful to our side, at least
21 it was certainly more toward the industry side than
22 the innovator side.

23 COMMISSIONER MCALLISTER: So the industry
24 is perfectly fine with keeping casks onsite in
25 perpetuity?

1 CHAIR WEISENMILLER: Well, that's why they
2 sued the federal government, but there's a logical
3 inconsistency where on the one hand they are moving
4 stuff in pools into the casks.

5 On the other hand they say, well, there's
6 no real safety difference between the two of them,
7 which just makes no sense whatsoever. Why do you
8 spend the money if there's no -- anyway.

9 I think the industry did come at the end,
10 like it or not. They've always had a myopia on the
11 back end of the fuel cycle. Historically they just
12 assume magically it was going to go away, and then
13 magically they could just keep stuffing it in the
14 existing spent fuel pools. I applauded the fact the
15 NRC was now at least thinking about the back end.

16 So I went from there to Berlin. Basically,
17 this was the German fall of Paris. They did a really
18 nice job of having a very broad international
19 contingent that talked about not only the German
20 success on renewables but what was going on
21 globally.

22 It was a good time for the German -- it was
23 the energy ministers but actually it was the economy
24 and energy who really looked back at their
25 accomplishments over time in the last few years in

1 Germany and look at some of the next steps for them.
2 But again to look more broadly.

3 Security was pretty intense, obviously, at
4 this time. A lot of side events.

5 I went up to 50 Hearst, their version of an
6 RTO that does that part of Germany.

7 And then had some meetings with actually
8 some academics and some regulators on market
9 structure questions. Fun conversations there. How
10 you monitor how ISOs are operating, things like
11 that.

12 COMMISSIONER MCALLISTER: So what's the
13 thinking about where generation mix is going?

14 CHAIR WEISENMILLER: Well, the Germans are
15 still struggling. I mean, the thing that they've
16 struggled with a lot in the past year, and in fact
17 last year, you know, historically the Germans have
18 had this situation where they are definitely phasing
19 out nuclear. They are definitely growing renewables.

20 And at the same time they've built a lot of
21 coal plants. And so their greenhouse gas emissions
22 -- last year may have been the first time German
23 greenhouse gas emission actually went down in the
24 power sector, but historically they've been
25 increasing. So they've had increasing costs.

1 They had decreasing marginal costs, which
2 means that a lot of their power flows out to the
3 border areas either advertently or inadvertently.
4 And obviously it's not good strategy to buy high and
5 sell low, you know. Bankruptcy illustrates the folly
6 of that notion. So they're struggling on that count.

7 They tried to put in place basically things
8 that knock out coal generation got slapped back
9 politically, so they're now putting instead of their
10 capacity market they're putting capacity reserve
11 market where they will pay to keep some of the coal
12 plants operating.

13 At a place where once you have marginal
14 costs of zero and even on peak they can't even keep
15 pond storage projects alive, and so the notion
16 somehow you can keep coal plants alive as a backup.

17 COMMISSIONER MCALLISTER: They have a
18 regional transmission like the coal power figured
19 out?

20 CHAIR WEISENMILLER: Well, we have our
21 regional issues in the west. Now you can imagine
22 you're in the EU and you have combinations of
23 countries, some of which the Germans have enormous
24 amounts of loot flow through.

25 So I did go into one of our meetings was

1 with the EU on these issues. And again, you can
2 imagine walking into a room with 30 people and
3 listening to conversations it's very clear that they
4 are at least slow and methodical in trying to reach
5 decisions. I don't know if they reach them or not,
6 but again just trying to deal with market structure
7 questions.

8 COMMISSIONER MCALLISTER: Because they were
9 having issues just with a lot of wind up north and
10 other things down south.

11 CHAIR WEISENMILLER: Yeah, they have lots
12 of issues, I guess is the bottom line. But one of
13 the issues is, yeah, wind is in the north, the load
14 is in the south.

15 They have a single price throughout Germany
16 and Austria, one price, which means the pricing
17 signals are located anywhere you want even though
18 the load is in the south, and they're having lots of
19 trouble getting high voltage lines built across
20 Bavaria. And if they don't succeed, they will
21 probably have to go to normal pricing. But again,
22 that's probably the next energy minister's problem
23 instead of this one.

24 But yeah, they're having a lot of trouble
25 building lines. Lots of problems on the operational

1 systems.

2 Again, the sort of question I kept asking
3 and no one would ever answer was just how much
4 manual redispach they have. The answer is lots and
5 increasing. So it's interesting to compare their
6 issues to ours.

7 But it's a good time to celebrate and it
8 was a good chance to see how they handle the multi-
9 lingual multi-government.

10 They have a lot of focus on Twitter, so
11 they had one screen for the Twitter stuff.

12 They had one panel on renewables and how we
13 love renewables, which of course had a Saudi in the
14 middle of the group, and so he was talking and of
15 course you look at the Twitter feeds and it's just
16 sort of beating the guy into the ground, right.

17 Anyway, so that was interesting.

18 Aliso was interesting. Part of the question
19 -- and again, we had a workshop in southern
20 California. It's always interesting in terms of what
21 people take away or don't take away.

22 The good news was that we put in place an
23 administration wide program to respond to Aliso,
24 respond to the Governor's letter of January 6th, you
25 know, his order.

1 And on the reliability side it's been the
2 Energy Commission, ISO, PUC, and LAWP doing the
3 analysis, which certainly deepens relationships
4 among us. And we looked at near term; i.e., this
5 summer.

6 Ultimately we have to look at long term;
7 i.e., next winter, and then take longer term views.
8 And when we did, A, we're surprised that this summer
9 is a problem. We always thought next winter would be
10 a problem, you know, particularly coal.

11 Anyway, the storage system is designed
12 generally to help core/residential customers deal
13 with winter heating lows, which you can have very
14 high lows there if it's very cold.

15 1948 was like three standard deviations
16 away in terms of cold, so it's like a 1 in 35 target
17 for per peak month for core, because if you drop
18 core load you have to go out and you light pilot
19 lights.

20 And the main statistic was after the
21 Northridge earthquake they lost 200,000 homes that
22 they had to relight, and it took -- I'm trying to
23 remember -- it took months, bottom line. So you go
24 out and you bang on peoples' doors, they're not in,
25 you come back, you know. Anyway, it was designed in

1 that fashion.

2 And the summer issue, which again, most
3 people didn't get although I thought the
4 presentations were good, they were in English, the
5 basic criteria.

6 But the problem is when we went in we
7 thought the problem would be rapid ramps. Turns out
8 the problem is misforecasting between day ahead and
9 day of.

10 If you look at how the gas system operates
11 and the power system operates, they don't operate in
12 sync. And gas molecules move very slow, 30 miles per
13 hour in the high pressure lines, 20, low pressure.
14 And you basically use your power plan you say this
15 is how much gas I need tomorrow. It's all marching
16 along, the molecules do, and then the next day you
17 discover, oh, we just lost a transmission line or
18 the cloud cover is going out in Los Angeles and your
19 forecast is wrong, and you could either have too
20 much gas or you could have too little gas.

21 And if you have too little gas in the day
22 of, without a storage field to deal with the hour by
23 hour variation, there's no way to respond. It's the
24 gas moves very slowly, there's not storage fields of
25 sufficient size in the basin to respond. So it

1 doesn't take much to misforecast.

2 We were finding pressure problems on the
3 SoCal gas system, 150 million cubic feet a day,
4 which about a 2, 3 percent. Again, it's not a
5 particularly big number, ten percent. Anyway, and
6 suddenly you're worrying about having to drop load,
7 drop power plant service, which then drops electric
8 load unless you can move power in from someplace
9 else to keep the lights on.

10 And then if you combine it with outages and
11 different things, you could be off by as much as
12 several hundred cubic feet a day.

13 Again, just looking if you go back over
14 recent history, just resimulate the operation system
15 over the last several years, which were sort of
16 average years for the summer. They weren't
17 particularly hot. The outages, the reasons, again
18 I'm not sure I'd say they were routine.

19 So then you go to through and you say what
20 can you do. Well, if you don't have enough you can
21 try to do demand response, right.

22 And again, next winter probably a supply
23 question, but this summer it's really under or over.

24 So having said that, of course everyone has
25 potential projs, some of which are pretty

1 interesting to say I've got the solution, you need
2 to tell me what the problem is. And so trying to at
3 least understand the problem; i.e., misforecasting
4 as opposed to saying, oh, I can help you with
5 additional supply.

6 Well, there are times we may have too much
7 supply, so it's not like that's the magic bullet
8 there.

9 So I think again a lot of getting the
10 message out. We're going to really need people in
11 the basin to really help us with energy efficiency,
12 demand response when we need it this summer, so it's
13 going to be -- depending on whether it's hot, cold,
14 the averages, it could either be very stressful or
15 less stressful.

16 But we're talking 14 days. This is not
17 easy. And we reduced it somewhat by the ISO can
18 obviously move stuff into the basin, again, with
19 enough notice, or LAWP can with enough notice.

20 Criticisms so far have been things like you
21 can build a gas system without storage. Well, you
22 can, but we did build it with storage, and the
23 problem now is we had a system that was very
24 dependent on Aliso Canyon. It broke, so again,
25 right. And now you have to figure out, and then you

1 discover there's a large reliance on what turns out
2 to be a broken piece of equipment, and so you're
3 trying to figure out how to work your way around.

4 Anyway, you could, but the next month or
5 two it's not like you can rebuild all the pipe
6 coming into L.A. I'm not even sure why you'd want to
7 rebuilt all the pipe to make it twice as big going
8 forward, so that's one issue.

9 There's also been this confusion of LAWP
10 has some gas fields in Wyoming and they've never
11 been able to get that. They sell the gas as a
12 financial hitch, so they've never been able to
13 really get it into Los Angeles.

14 There are people saying, well, you have
15 that. It's like, yeah. It's like if you drove your
16 car to Wyoming and said, well, I have a gasoline
17 container in my garage in Sacramento so I don't have
18 worry about gasoline here.

19 Unless you've got the Star Trek's
20 teleprompter, shipping stuff is not going to help
21 you to have the gasoline there.

22 So once you get interaction of gas and
23 power both, it makes everything at least twice as
24 complicated.

25 COMMISSIONER MCALLISTER: I'm still

1 interested. I thought that market reform aspect of
2 this is pretty interesting, because as it turns out
3 we have also the loosest balancing rules of pretty
4 much anybody in the U.S.

5 CHAIR WEISENMILLER: Oh, yeah.

6 COMMISSIONER MCALLISTER: Tightening those
7 up could actually help us if we had more balancing.

8 CHAIR WEISENMILLER: We need that. I mean,
9 basically you balance over the course of a month, so
10 you can have like a ten percent. They don't have
11 necessarily float gas that day. You can just deal
12 with it later.

13 And as Andrew said, there are places that
14 are hourly balancing, not just monthly balancing. So
15 we're trying to get at the daily and having said.

16 But certainly the response of all the non-
17 core customers is, well, that's not how they did
18 their contracts. So being said, unless you forecast
19 correctly now, you have large financial penalties,
20 and what are the tools, how do we deal with that.

21 So it's been incredibly controversial. You
22 may be approached by utilities, refineries, by large
23 industrial, anyone who buys their own gas is
24 suddenly going, oh my god, daily balancing is really
25 hard.

1 So again, it's not like there are a lot of
2 easy answers here.

3 COMMISSIONER MCALLISTER: It's also not
4 rocket science, though. I mean, everybody else does
5 it so how hard can it be if we need to migrate our
6 contracts. That's really the kind of conversation
7 I'm interested in seeing now coming up is sort of,
8 it's not seatbelts, it's not going to put them out
9 of business, but maybe it is seatbelts but it won't
10 be that hard.

11 CHAIR WEISENMILLER: Right. No, the PUC is
12 dealing with that. There's a bunch of questions.
13 It's like we have 15 BCF now, which certainly if we
14 run a history will get us through without any
15 outages this summer.

16 On the other hand, we don't know if and
17 when we will ever start reinjection, so it might be
18 that suddenly all we have next winter is 15 BCF,
19 which is pretty miserable going into the winter with
20 that.

21 But anyhow, the big question of how much
22 you use now versus later. It's not a pretty
23 situation. So certainly it's a time for concern,
24 it's a time for people to pull together,
25 particularly on load dropping.

1 And as Andrew said, it's certainly a good
2 time, there's no reason not to do energy efficiency
3 now, particularly if you're looking out over the
4 trend between here and next winter and start putting
5 it in place.

6 COMMISSIONER MCALLISTER: Yeah, if you take
7 into account some of the avoided costs of potential
8 blackouts or whatever, you're sort of economically
9 and financially looking a lot better with some of
10 the gasoline measures, so you can build a case from
11 that perspective, maybe it's easier to justify
12 projects.

13 CHAIR WEISENMILLER: Oh, yeah. Although
14 again, it's just the notion of how much can you
15 really do between now and the summer?

16 We're trying to encourage sort of a
17 competition between LAWP and Edison where they were
18 saying they were hoping to get another 20 megawatts
19 of demand response, which is like, well, you know.

20 But having said that, can Edison 30, can we
21 get actually get some (inaudible) here.

22 So Chief Counsel's Report.

23 MS. VACARRO: So I have two information
24 items.

25 The first will bring you to the December

1 meeting when the Commission tasked the chief
2 counsel's office to take all appropriate steps to
3 address concerns that we had with Bendota Bio Energy
4 and the grant agreement.

5 And today I'd like to let you know that we
6 did file a complaint last Friday. The Attorney
7 General's Office filed it on behalf of the
8 Commission in Sacramento Superior Court. There are a
9 number of causes of action.

10 And this isn't the forum today to have any
11 discussion about the lawsuit, it's more
12 informational. Certainly don't want you reading it
13 in the press or otherwise hearing about it, but
14 we're happy to give you individual briefings, if
15 you'd like that, to get a better sense of the scope
16 of the complaint and where things will go moving
17 forward.

18 And the other item -- I feel like proud
19 parent. I have two new hires. I feel like every now
20 and again at a meeting I'm able to say this, but
21 these are particularly great hires for a couple of
22 reasons.

23 We talked about the diversity fair that's
24 coming up, and that's great for getting people in
25 the door.

1 What's equally important is having people
2 come back when they get the credentials or otherwise
3 are qualified, and so one of our hires, Angela
4 Worth, is going to be in the house unit.

5 Angela had worked as an intern in the Chief
6 Counsel's Office quite awhile ago. Did a multi-year
7 fellowship with the federal government. Moved across
8 country to join us again, and I think that's pretty
9 tremendous. It speaks well of the Commission and her
10 commitment to environmental law and energy law.

11 We also benefit from Corey Irish, who is in
12 Contracts, Grants, and Loans, who earned his law
13 degree while working here by day and is now a new
14 attorney in our Transactions Unit.

15 And I just think this is sort of the good
16 news story, I think, for Chief Counsel's Office but
17 also for the Energy Commission, so I'm just really
18 pleased to be able to introduce them to you today.

19 CHAIR WEISENMILLER: Great. Thanks.

20 Executive Director Report.

21 MR. OGLESBY: Just two quick things.

22 One on workload for the agency as a whole,
23 following on the Aliso Canyon discussion.

24 This is an effort similar to the kind of
25 ongoing effort coordinating with multiple agencies

1 like the Drought Taskforce. So it will be something
2 that continues on as we go through the spring and
3 summer, fall, in all probability, for some time.

4 And also going into the IEPR process as we
5 do some of our follow-on assignments that we're
6 required by the Governor to explore and analyze on
7 natural gas.

8 So it'll be something that we have to
9 accommodate in our work schedules and absorb the
10 workload, and we're also seeking some augmentation
11 through our resources to help with the immediate
12 challenges and some of the long term that we haven't
13 done yet.

14 Secondly, just a heads up warning that we
15 are coming toward the end of the fiscal year. Most
16 of our transaction work is required to be completed
17 by the end of the fiscal year, and so plan your days
18 accordingly as we go into May and June business
19 meetings, because the agendas are going to be rather
20 extended with all the transactional types of things,
21 so just a heads up on that.

22 That's all I have.

23 CHAIR WEISENMILLER: Thanks.

24 Public Adviser.

25 MS. MATTHEWS: Thank you. I just want to

1 thank Commissioner Scott for mentioning the career
2 diversity fair that we're going to have on April 29,
3 so certainly all of our Commissioners who have
4 relationships with higher institutions, pass that
5 along.

6 And then the second thing I wanted to
7 highlight is that on March 30th, this would be under
8 AB865 to increase the diversity of participants in
9 our funding programs.

10 We attended the CPUC had a small business
11 expo. Unfortunately I had a family emergency so I
12 was not able to attend, but thankfully Lorraine did
13 attend on the Energy Commission's behalf, and we
14 were able to reach about 200 diverse businesses,
15 small and diverse businesses, to let them know about
16 our funding programs.

17 So we will certainly continue that
18 relationship with the CPUC's Supplier Diversity
19 Program to do more outreach to reach the AB865
20 objectives.

21 CHAIR WEISENMILLER: Great, thank you.

22 Public Comment?

23 The meeting is adjourned.

24 (Adjourned at 2:51 p.m.)


25 --oOo--

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 22nd day of April, 2016.




Susan Palmer
Certified Reporter
CERT 00124

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 22nd day of April, 2016.



Terri Harper
Certified Transcriber
AAERT No. CET**D-709