

## DOCKETED

<b>Docket Number:</b>	16-IEPR-05
<b>Project Title:</b>	Electricity Demand Forecast
<b>TN #:</b>	214971
<b>Document Title:</b>	Transcript of 12/8/16 IEPR Commissioner Workshop on the 2016 California Energy Demand Electricity Forecast Update
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	12/21/2016 11:28:17 AM
<b>Docketed Date:</b>	12/21/2016

WORKSHOP  
BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the matter of, )  
 ) Docket No. 16-IEPR-05  
 )  
2016 Integrated Energy Policy )  
Report (2016 IEPR) )

**IEPR COMMISSIONER WORKSHOP ON THE 2016  
CALIFORNIA ENERGY DEMAND ELECTRICITY FORECAST UPDATE**

CALIFORNIA ENERGY COMMISSION  
FIRST FLOOR, ART ROSENFELD HEARING ROOM  
1516 NINTH STREET  
SACRAMENTO, CALIFORNIA

THURSDAY, DECEMBER 8, 2016

10:00 A.M.

Reported By:  
Kent Odell

**CALIFORNIA REPORTING, LLC**  
229 Napa St., Rodeo, California 94572 (510) 224-4476

## APPEARANCES

Commissioners

Karen Douglas, Lead Commissioner for IEPR

Robert B. Weisenmiller, Chair

Andrew McAllister

Janea Scott

CEC Staff Present

Heather Raitt

Cary Garcia

Chris Kavalec

Stakeholders & Public Present

Dennis Peters, California Independent System Operators  
(CAISO)

Jeff Billinton, California Independent System Operators  
(CAISO)

Ben Davis, Jr.

Catherine Hackney, Southern California Edison

## INDEX

	Page
Introduction	
Heather Raitt, IEPR Program Manager	4
Opening Comments	
Commissioner Karen Douglas, Lead Commissioner for IEPR	6
Chair Robert B. Weisenmiller	5
Commissioner Andrew McAllister	
Commissioner Janea Scott	
California Energy Demand Updated Forecast Plans for the 2017 Demand Forecast	6
Cary Garcia, Energy Commission Staff	
Chris Kavalec, Energy Commission Staff	
Weather Normalization/Peak Shift	28
Chris Kavalec, Energy Commission Staff	
Stakeholder Response	44
Public Comments	53
Closing Remarks	66
Adjournment	66
Reporter's Certificate	67
Transcriber's Certificate	68

1 P R O C E E D I N G S

2 DECEMBER 8, 2016

10:05 A.M.

3 MS. RAITT: All right, we can go ahead and get  
4 started, if you'd like. Sorry.

5 Good morning. Welcome to this morning's  
6 workshop, Lead Commissioner Workshop on the 2016  
7 California Energy Demand Electricity Forecast Update.  
8 I'm Heather Raitt, the IEPR Program Manager.

9 I'll quickly go over a few housekeeping items.  
10 Restrooms are just right outside the door. If there's  
11 an emergency, and we need to evacuate, please follow  
12 staff outside the door, and to the park, Roosevelt Park,  
13 which is caddy corner to the building.

14 We are recording the workshop this morning, so  
15 there will be an audio recording posted in a couple  
16 days, and a written transcript in a few weeks.

17 We will be having opportunity for public comment  
18 at the end of the morning's session, after we have staff  
19 presentations. Please go ahead and fill out a blue card  
20 and give it to me, or the Public Adviser, who's at the  
21 table in the back of the room.

22 For the WebEx participants, you can use the chat  
23 function to tell our WebEx coordinator that you'd like  
24 to make a comment during the public comment period. And  
25 at the end, we'll open lines for phone-in-only

1 participants.

2 We also welcome written comments. Written  
3 comments are due on December 19th, and the notice for  
4 this workshop explains the process for submitting  
5 comments. Thanks.

6 Any comments?

7 CHAIR WEISENMILLER: Did you go through that  
8 there will be a fire alarm?

9 MS. RAITT: I did. I went through all that good  
10 stuff.

11 CHAIR WEISENMILLER: Okay, great. Yes,  
12 yesterday, we actually had a fire alarm.

13 MS. RAITT: We did. We actually had a fire  
14 alarm yesterday, so it was good to remember to follow  
15 staff over to Roosevelt Park.

16 CHAIR WEISENMILLER: In the rain, okay.

17 I want to thank everyone for being here today.  
18 Obviously, one of the Energy Commission's key functions  
19 is the demand forecast, which is then used by the State  
20 in planning.

21 At the same time, there are lots of changes  
22 going on, now, in our loads. And while this IEPR, in  
23 some respects, is sort of a state of course, relatively  
24 simple process, we've been using it as a time to really  
25 develop the analytical tools to, next year, to really

1 dig into the question of what doubling energy efficiency  
2 means.

3 This year, we did take up the topic, two topics.  
4 One of them was weather normalization and the other was  
5 the increasing impacts of behind-the-meter solar on the  
6 forecast. There's certainly a major request from the  
7 ISO to have us sort of dig into that. And, obviously,  
8 pretty easy to see that it is having effects, now. And,  
9 over time, we expect these effects to grow bigger.

10 So, anyway, this was our first attempt. It's  
11 probably, again, not the last word on this topic, but at  
12 least the first word.

13 So, again, thanks everyone for your  
14 participation today, and looking forward to comments.  
15 And, again, it's sort of preview of next year's work, I  
16 think, as opposed to definitive. So, again, thanks.

17 COMMISSIONER DOUGLAS: And I think we could have  
18 brief Commissioner comments. I think we had a quick  
19 conference up here, and decided that we would just roll  
20 into the presentation. But we join in the Chair's  
21 comments, obviously, about the importance of the  
22 forecast, and the interest in the presentation, and  
23 public comment here, and how that tees us up for moving  
24 forward next year.

25 MS. RAITT: All right, thanks. Our first

1 speaker is Cary Garcia.

2 MR. GARCIA: Good morning. Cary Garcia, with  
3 the Demand Analysis Office. And, so, today I will be  
4 giving you an overview of the demand forecast update  
5 that we did here, for 2016.

6 And, so, today, I'm just going to go over the  
7 update process and what we do as far as the mechanics of  
8 the update. I'll go over a little bit of the economic  
9 and demographic assumptions that we're making for this  
10 forecast. I'll review some of the statewide baseline  
11 results. And, then, I'll go into some of the planning  
12 area results for the major planning areas.

13 And, then, the updated managed forecast, which  
14 include the energy efficiency estimates for the planning  
15 areas.

16 And, then, wrap everything up with next steps,  
17 as far as comments, and everything like that. So, and  
18 just thank you, everyone, for being here, and the  
19 Commissioners as well. Thank you for taking the time  
20 today.

21 So, real quickly, you know, the basis that we  
22 talked about, the basis for the update is basically to  
23 inform, you know, the ISO transmission planning  
24 processes, as well as the CPUC's procurement planning  
25 process. And, so, we do this update so we can inform



1     that new forecast horizon.

2             And, so, what we're doing, basically, is just  
3     incorporating more recent economic and demographic  
4     expectations, in comparison to what we do in the full  
5     forecast, that we did in CED-2015.

6             And, so, this just includes new historical data  
7     for 2015, for consumption and sales, and then new peak  
8     information for 2016.

9             In addition, we've -- with the help of Navigant,  
10    we extrapolated -- or, sorry, they actually reestimated  
11    2027 for us, you know, so we can pull out the energy  
12    efficiency out to that new year, that we need for this  
13    forecast.

14            But, basically, for the other components, like  
15    committed efficiency, distribution generation, DR, and  
16    climate change, we're essentially just extrapolating  
17    that out or rescaling it to adjust for the new horizon.

18            And, so, the first step for the process is to  
19    reestimate the econometric equations that we used for  
20    the full forecast. And, so, while we estimate these for  
21    all our -- we'll run an econometric model for all the  
22    sectors, as well as peak demand. So, we have a model  
23    for residential, commercial, manufacturing, resource  
24    extraction, and construction that we refer to as  
25    industrial.

1           And then, ag and water pumping. The CTU, which  
2   is the transportation, communications and utilities  
3   component, and then street lighting.

4           So, we run all these and we do a comparison.  
5   Well, let me step back. So, we run this for the 2015,  
6   using the updated information -- sorry. We run this for  
7   2015, what we used previously. We run another set of  
8   models for the 2016, and we apply that percentage  
9   differences to the old forecast to make that adjustment  
10   for the new information that we have.

11           And, so, that gives us our updated trajectories  
12   and growth rates for our forecast components.

13           And for those other components that I mentioned,  
14   committed efficiency, DR, and such, we basically just  
15   extrapolate those out and we treat those as a separate  
16   item. So, you have the baseline forecast, plus all  
17   these post-processed items that we attached. And that's  
18   very similar to what we do in the full forecast.

19           And, so, we apply the rescaled impacts to 2027,  
20   to the consumption and the initial peak forecasts that  
21   we have.

22           And, so, our basic sales calculation is simply  
23   removing distributed generation from our consumption  
24   forecast and calculating out what the sales would be.

25   And this information, or this sales forecast, is updated

1 with the distributed generation that we have for 2015,  
2 as well as pending adoptions that we expect to occur in  
3 2016.

4 And we'll talk about this a little bit later,  
5 Chris will talk about this later, but we'll also do --  
6 we develop the weather normalized peaks as our starting  
7 point for the peak forecast.

8 And then, finally, after we do all these  
9 baseline forecasts, we'll have our sales forecast, our  
10 11C forms and our 1.5 forms, broken out by LSEs. And,  
11 so, that's kind of like the last component to this whole  
12 process.

13 So, for the economic and demographic scenarios,  
14 we're basically using the same assumptions that we've  
15 had in 2015, just updated. Or, just the same cases, I  
16 guess, just updated for the new information.

17 So, our higher case is using the optimistic  
18 scenario from Global Insight. The mid case is using  
19 Moody's baseline scenario. And then, our low demand  
20 case is using Moody's lower long-term growth scenario.

21 And, so, here are some of the drivers that we  
22 use, some of the basic drivers that we use in the  
23 forecast. And, so, on the left there you see the CED-  
24 2015 mid that we had from the last cycle, compared to  
25 the three demand cases that we have, now, for the 2016

1 update.

2 And, so, you can see there's not too much of a  
3 difference between some of these drivers, comparing just  
4 the mid cases. So, personal income is about the same,  
5 up a little bit. The population growth is pretty flat.  
6 Manufacturing output is up in comparison to the other  
7 variables here, and I'll talk about that a little bit,  
8 in a moment. And then, commercial employment is about  
9 the same.

10 But you can see the spread, the difference here  
11 in that high, high optimistic scenario. But  
12 nonetheless, still has population and commercial  
13 employment kind of about the same levels. It's really  
14 that manufacturing output that tends to change a little  
15 bit and has a lot of variation, potentially. Or, a lot  
16 of -- I don't know if I'd call it uncertainty, but  
17 there's, obviously, seeing that difference between 5  
18 percent and 2.6 percent, there's potential for a lot of  
19 growth in that sector.

20 And, so, basically, what's going on, according  
21 to Moody's, I saw that big difference in the  
22 manufacturing output and I was wondering, you know, what  
23 exactly was going on there. And getting feedback from  
24 Moody's, basically what we're seeing is a lot of the  
25 manufacturing growth is focused on transportation,

1 electronics, and then chemicals, energy and plastics.  
2 So, mostly, this is automotive technology. And they  
3 pointed to Tesla being a specific indicator of where, I  
4 guess, the growth is going to come from.

5 And then, we're also seeing tech and biotech  
6 growth, and innovation, developing in the Southern  
7 California and the Bay Areas. That's kind of, I guess,  
8 leading to this increased manufacturing output in  
9 comparison to the 2015 forecast.

10 And, so, here I have statewide personal income  
11 for the 2016 update. You can see the mid case income is  
12 about one percent higher. But it's pretty clear from  
13 the graphs here, you can see everything's pretty  
14 tightened up. So, there's really not a lot of change in  
15 comparison to what we were estimating in 2015.

16 If we look at another driver, statewide  
17 population, you can see there just from the history, I  
18 mean, we're not -- we're not really deviating much from  
19 what we've expected in the past and those trajectories  
20 are a little -- about the same. But you can see there's  
21 a slight dip from what population -- the expectation for  
22 population growth was. And, so, we're about one percent  
23 lower, in comparison to the 2015, looking at 2026.

24 But in the end, our high, mid and low cases are  
25 pretty bunched up. The high and mid case actually used

1 similar projections for population, whereas the low case  
2 is a little bit down, so you'll see a lot of overlap  
3 there.

4 As I said, statewide manufacturing is up pretty  
5 significantly. So, in the mid case, it's about 5 and a  
6 half percent higher, in comparison to the 2015 forecast.  
7 And as I said, that's mainly due to that biotech and  
8 technological innovation that we're seeing in the Bay  
9 Area and Southern California.

10 And then, you can see our high case is  
11 definitely, like I showed before, that 5 percent  
12 increase, you know, brings that up pretty high, out  
13 there in 2027.

14 Here we have statewide commercial employment.  
15 The mid case is down about, you know, half a percent in  
16 2026, compared to the 2015 forecast. But as you can  
17 see, everything's pretty close to what we were expecting  
18 in the last cycle as far as growth rates and the future  
19 trajectory.

20 And, so, now, we have our statewide consumption  
21 forecast here. And, so, the actual 2015 consumption was  
22 lower than we expected. And you can see that difference  
23 there, between that last historical year and that black  
24 line, in what the projection was for 2015.

25 But in the end, given the new information, we're

1 basically seeing a similar 2026 value for the forecast.  
2 And you can see that there, the red line that represents  
3 the mid demand case, and the blue line that represents  
4 our new mid demand case are basically on top of each  
5 other, out there in 2026. And then, you see the usual  
6 spread between our high and our low demand cases.

7 And, so, now, we have statewide sales. Similar  
8 to consumption, a little lower in the near term. You  
9 see that adjustment there for history, in comparison to  
10 what we were projecting in the 2015 mid demand case.  
11 And, now, we have a slight dip in that near term because  
12 of the self-generation update, the updated information.  
13 But in the end, the economic growth kind of brings us  
14 back up to the end, and gets us closer to that 2026  
15 midpoint that matches up pretty closely to what we were  
16 estimating for 2015.

17 And as I mentioned, we updated the AAEE savings  
18 to include 2027. But what we do, as far as the peak  
19 estimates, is simply make -- rescale it to make it  
20 incremental to 2016, because that savings has been  
21 realized and so, now, we have to start from that new  
22 starting point and then project that out.

23 And, so, you can see the usual spread between  
24 our different cases. We have our high baseline case.  
25 Low AAEE there, on the bottom, really which matches up

1 pretty closely with the mid baseline, low AAEE scenario.  
2 The mid baseline, mid AAEE, is right there in the  
3 middle. And then, we have our higher cases up there at  
4 the top, which are pretty closely aligned, as well.

5 But by 2027, we're looking at about 4,500  
6 megawatts of saving for that mid AAEE case.

7 Similar story for the energy savings, the  
8 consumption savings. In this case, though, we're doing  
9 the energy incremental to 2015. So, the same idea, we  
10 just make that adjustment and rescale it for our  
11 starting point, and then project that out with the new  
12 savings estimates for 2027.

13 And the same idea here, mid baseline case is  
14 right there in the middle. And then, we have our  
15 bookend scenarios at the top and the bottom there. But,  
16 basically, these are, essentially, the same projections  
17 that we had for 2015, just rescaled and adjusted  
18 slightly for 2027.

19 As you may remember, in 2015, the CED 2015, we  
20 included PAU AAEE savings. And, so, now, we've included  
21 that for SMUD and LADWP. And, so, combined, in 2027,  
22 it's about 850 megawatts of savings for those planning  
23 areas, as far as peak is concerned.

24 For energy savings, similar to what I mentioned  
25 for the IOUs, we make that incremental to 2015 for



1 energy. And then, the projections go out to 2027 from  
2 there. And in 2027, we're at about 3,500 gigawatt hours  
3 of savings in the mid demand case. And you could --  
4 yeah. Low case -- sorry, the high savings case --  
5 sorry, high demand case has lower savings, so you see  
6 that lower green line there, in 2027.

7           And, so, now, this is our managed statewide  
8 sales forecast. So, it's basically taking the sales  
9 forecasts that I showed earlier, I think in slide 16,  
10 and that's just making the adjustment for the energy  
11 efficiency savings that we had estimated. And, so, we  
12 just take that baseline case and subtract off what that  
13 savings is, including the losses.

14           And, so, you can see we're generally seeing the  
15 same shape and the same project that we had in 2015,  
16 just adjusted slightly lower for the new sales  
17 estimates. And then, that extra AAEE brings us down a  
18 little bit. So, by 2027 -- sorry, 2026, we're about one  
19 percent lower than what we expected in 2015, on a  
20 statewide level.

21           Oh, I may not have mentioned this, but, so,  
22 we've updated the capacity, but the general forecast  
23 trend is the same. We use that same adoption rate that  
24 we had in the 2015. And, so, you can see that  
25 adjustment up, but the trend is just about the same for

1 PV adoption. So, by 2027, we're looking at about 5,000  
2 megawatts of generation on the statewide level. And  
3 then, you have our high and our mid cases there to show  
4 the other potential projections.

5 In addition to the other adjustments that we  
6 made, we also included climate change impacts in the  
7 2015 forecast. And, so, we included those in the 2016  
8 update, as well. And here is an example of the  
9 consumption impact from climate change. And, so, this  
10 only applies to our high and mid demand case.

11 The low demand case, essentially -- well, let me  
12 step back one second. So, what we basically use is the  
13 temperature. That's really the main driver for the  
14 climate change impacts.

15 And, so, in the high and mid demand cases, we  
16 have weather scenarios that we've -- that Scripps  
17 Institute developed for us. And, so, using all those  
18 different scenarios, we come up with a climate change  
19 adjustment that, essentially, is just raising the  
20 temperature a little bit in the high and mid demand  
21 cases.

22 The low demand case is kind of like a business-  
23 as-usual case, so you won't see any climate change  
24 impacts. So, that's why I don't have a low case here,  
25 for you.

1           But the mid demand case is kind of slightly more  
2 climate change, I guess is the way to put it. And then,  
3 the high demand case would be, you know, even more  
4 drastic. And, so, you can see those effects here.

5           If we look at 2027, you can see that in the mid  
6 case it's about 1,000 gigawatt hours of savings -- or,  
7 sorry, not savings. Of climate change impacts. And in  
8 the high demand case, they're just under 1,200 gigawatt  
9 hours.

10           Similar story for the peak. But in this case,  
11 the mid demand case has about 450 megawatts of peak  
12 impact. And in the high case, we see over 600, closer  
13 to 650, I would say, in that case. And that's,  
14 basically, going to raise your peak demand, as well as  
15 your consumption up because of that increased  
16 temperatures. And we see this in the forecast, in  
17 looking at cooling degree days, and heating degree days,  
18 as well as maximum temperatures on an annual basis.

19           So, I'm going to move over to our planning areas  
20 that we base our forecast off of. And, so, you can see  
21 I have the PG&E, Edison, San Diego, our NCNC case, our  
22 planning area, which includes SMUD. And that's, the  
23 NCNC standards for Northern California Non-CAISO, which  
24 is basically SMUD and the Balancing Authority of  
25 Northern California.

1           And then, we have Planning Area 5, LADWP,  
2   Planning Area 6, Burbank, and Glendale, and Imperial,  
3   and Valley Electric, as well as the other components of  
4   the State.

5           And, so, today, I'm just going to go over the  
6   PG&E, Edison, San Diego, NCNC, and LADWP, since those  
7   are our largest planning areas that we work with. But  
8   this is the general basis of the forecast. So, we  
9   always start at the planning area and then we  
10  disaggregate down from here.

11           And as I said, these are going to be the main  
12  planning areas that I'll go over today. Just some of  
13  the basic results, and the managed sales forecasts, and  
14  managed peak forecasts.

15           As far as the planning area is concerned, in  
16  terms of economics and demographics, Edison and L.A. see  
17  some modest decreases in population growth, in  
18  comparison to the rest of the State.

19           Personal income growth is a little higher in the  
20  Central and Northern California Regions, that we've  
21  found.

22           And then, commercial employment has been  
23  generally reduced in all planning areas, in comparison  
24  to what we were looking at in 2015.

25           And then, as I mentioned, manufacturing output

1 is also up around the State, except in the case of the  
2 NCNC Planning Area.

3 Okay, so here we have the planning area sales  
4 for PG&E. And, so, keep in mind this includes more than  
5 just PG&E's service territory. This includes the whole  
6 planning area, so there will be POU's and other entities  
7 that are included in this estimate.

8 But, generally, the mid case here is about --  
9 you can see it's very low, you know, fractions of a  
10 percent lower than 2015. But, we're essentially dealing  
11 with the same sales forecast that we had back in 2015.

12 The same kind of idea here. The main difference  
13 that we're dealing with here, though, is just the  
14 weather normalized value. That's a little bit higher  
15 than what we had in 2015. But you can see, if you look  
16 at that black line there, in the 2015 range, where 2015  
17 estimate was a little bit lower than what actual was.  
18 So, we see that adjustment, bring everything up. And  
19 then, that green line there is what the baseline case  
20 is. And that blue line is our mid demand case,  
21 including that energy efficiency savings. So, that gap  
22 between there is essentially that savings estimate that  
23 we have.

24 But in the end, we're about 500 megawatts higher  
25 in the PG&E's planning area, in 2026, in comparison to

1 our estimate for 2015.

2 A similar story for Edison, Edison's planning  
3 area. The managed sales are down a little bit. The  
4 growth rates are about the same, as you can see. But in  
5 the end, we're about one percent lower than what we  
6 projected back in 2015.

7 The same story for the peak. And, so, once  
8 again the primary difference there is a new weather  
9 normalized starting point. And, so, that's what that  
10 gap there between the new forecast trajectory and the  
11 old one, from 2015. And then, looking at that green  
12 line, again, you can kind of see what the impact of  
13 energy efficiency savings has been.

14 Here we have San Diego Gas & Electric managed  
15 sales. So, starting out, we look at that green line,  
16 again, which is the baseline forecast. Our blue line  
17 showing the impact of the energy efficiency savings for  
18 San Diego's planning area. And then, our 2015  
19 projection, which is a little higher in comparison to  
20 what we have now.

21 And the same story, we have a new, weather  
22 normalized starting point, and that's kind of the basis  
23 for this, that gap you see there, in addition to the  
24 increase from distributed generation impacts. So, the  
25 update to distributed generation impacts.

1           But in the end, we're about 2 percent lower in  
2 comparison to the 2015 forecast, if you look at 2026.

3           And, so, we have our managed peak here for San  
4 Diego. The mid case is, once again, about 3 percent  
5 lower than CED 2015. But the same general idea,  
6 starting at a new starting point in comparison to 2015,  
7 and make our adjustments for the energy efficiency  
8 savings.

9           Here, we have our Northern California Non-CAISO  
10 planning area, which includes SMUD. The mid case sales  
11 are about 4 and a half percent lower in CED 2015.

12           And then, we have our managed peak forecast for  
13 NCNC, and this is about 3 percent lower than what we had  
14 in the 2015 forecast. But you can see there, the  
15 trajectories are -- I wish I had, like, more exciting  
16 things here, now that I'm thinking about this. But  
17 everything -- I think the take home message today is  
18 everything is about the same as it was, just minor  
19 adjustments for kind of like the demographic  
20 information. Sorry if this is too boring for everybody.

21           (Laughter)

22           COMMISSIONER MCALLISTER: It's very comforting.  
23 But, you know, in the electric sector, we do like  
24 predictability, so it's not necessarily a bad thing.

25           I guess, but 4.6 percent lower, and 3 percent in

1 some of these numbers, I mean that is significant.

2 MR. GARCIA: Yeah, well --

3 COMMISSIONER MCALLISTER: So, I don't want to  
4 downplay it too much.

5 MR. GARCIA: Right, right. Keep in mind here,  
6 the NCNC, when they include the energy efficiency  
7 savings, it's done at the service territory. And, so,  
8 I'm doing this comparison because we're still working on  
9 that service area forecast, and so we can show the  
10 proper comparison. But this is just a general idea of  
11 what that drop is going to be. So, I would expect when  
12 we're just looking at SMUD, by itself, and then they're  
13 savings, you're not going to see as big of a difference  
14 between that, between those projects.

15 But like I said, we still have those service  
16 area forecasts that are getting done, that are broken  
17 out by LSC, and so that will give us a better idea of  
18 what this looks like. But we should have those up soon,  
19 and we'll distribute that to everybody.

20 But this was kind of like a quick way to look at  
21 it, on the planning area level, since that's where we  
22 start out with the forecast. But, yes, 4 percent is a  
23 big difference in this case.

24 Well, on that, I would say our projection was a  
25 little higher. Right? If you look at that red line



1   there, that was showing, basically, what we had  
2   projected in 2015. And then, when you look at the black  
3   line, the history, we were definitely a little more  
4   optimistic, I guess, as far as what the sales were going  
5   to be. So, that's like a big difference or what's  
6   mainly driving that difference.

7           And I guess the other, too, so if you look at  
8   NCNC and the economic and demographic information, that  
9   was one of the ones that didn't really see that bump up  
10   in manufacturing output. And, so, I think that's what's  
11   carrying over and kind of keeping that consumption a  
12   little lower than what we expected it to be.

13           And the same thing for the managed peak. That  
14   expectation was a little higher in 2015. So, we're  
15   dropped that down. And then, we essentially take that  
16   same projection out to 2027.

17           And then, here, lastly we have LADWP. This is  
18   the managed sales for them. The mid case sales is about  
19   3 percent higher in comparison to the 2015.

20           You see that little, like a little, weird dip  
21   there, and that's mainly going to be cogeneration plants  
22   that we've seen are going to come online. But you can  
23   see that kind of decays off because that's not really  
24   growing. That cogen's just staying flat. And, so, once  
25   that impact happens, you see it kind of dip off and that

1 trajectory just takes off, again. So, it's very similar  
2 to what we had in the 2015 forecast.

3 And in LADWP's case, LADWP is their own planning  
4 area. Or, LADWP service area and planning area are one  
5 in the same. So, this is more of a comparable  
6 projection, compared to the other planning areas that I  
7 mentioned before.

8 And then, once again, the same story with peak.  
9 You see that dip there for that cogeneration, but then  
10 that kind of decays off because it remains flat. And  
11 then, you see the new forecast trajectory kind of take  
12 hold. But, really, we're only about one percent lower  
13 than what we had in the 2015 forecast.

14 That's about it today, for me, as far as the  
15 forecast update for the baseline forecasts. I mean,  
16 like I said, everything was kind of about the same. We  
17 see some differences for the different starting points  
18 for the peak, for the weather normalization that we'll  
19 talk about later. But by and large, the general trend  
20 has been about the same, you know, even with all the  
21 updates and the different components that we updated.

22 So, I'll take any questions before -- so, as  
23 Heather mentioned, we have, you know, stakeholder  
24 comments that we can include. So, if you have any  
25 comments, feel free to let us know, and we can include

1 those as best as we can. And then, our forecast is  
2 planned to get adopted in January. I think it's the  
3 17th. I can't remember exactly. But that will be  
4 adopted at a business meeting in January 2017.

5 So, if there are any questions, or any comments  
6 from stakeholders, any comments from the dais?

7 CHAIR WEISENMILLER: Yeah, just one thing I  
8 would point out is you pointed out, certainly, the econ  
9 demographics is a key input. And, obviously, we always  
10 are in this wheel of wrapping up one IEPR and starting  
11 the next one, roughly, this time of the year.

12 So, I guess right now it's going to be in  
13 January, although the specifics, we'll have a workshop  
14 focusing on economics demographics, and try to untangle  
15 that a little bit better. Particularly, given all the  
16 potential changes on policy, on the Federal side.

17 MR. GARCIA: Yeah.

18 CHAIR WEISENMILLER: So, alerting people of  
19 upcoming attractions. But, certainly, one advantage  
20 about doing this every year is that the changes tend to  
21 be smoother, you know, as opposed to if we would, say,  
22 do it every five years, or something much longer you  
23 would see, presumably, pretty dramatic changes.

24 While here, we can sort of adapt or evolve to  
25 things like the economy or, you know, PV growth.

1           MR. GARCIA: Yeah, I think in this case -- well,  
2 from my memory, I think I came on to the Commission  
3 around that 2013 time frame, and we were coming out of  
4 that recession. And, so, I think like having this  
5 update would be -- well, in this case, obviously, I mean  
6 everything was kind of what we expected, right,  
7 business-as-usual kind of situation. The economy didn't  
8 change a whole lot.

9           But I think it becomes more important in those  
10 situations where you're coming out of an economic slump,  
11 or potentially we may be seeing one. Right? And, so,  
12 like you were saying, we might have different  
13 projections by January, considering the new Federal  
14 policy that we might have, and how it's going to look.

15           And I think the update probably is going to be  
16 more -- it will probably be a little bit more exciting,  
17 I think, around that time. It would be more -- we'll  
18 see a lot more change, potentially.

19           CHAIR WEISENMILLER: Yeah, I think so. Yeah,  
20 but anyway, certainly looking forward to people's  
21 comments on this and, you know, making sure we're moving  
22 forward in a process that, you know, if anyone finds any  
23 issues, we can catch them between now and the adoption.  
24 But again, encourage people to basically bring it up  
25 now, as opposed to the adoption day.

1           MR. GARCIA: Right. So, I guess I'll ask the  
2 audience one more time if we have anybody from any of  
3 the stakeholders, any of the utilities if you -- do we  
4 want to make comments now, Heather, or at the end.  
5 Okay, I guess we'll save those for the end, the end of  
6 the day, after our next presentation.

7           So, thank you very much.

8           MS. RAITT: Thanks, Gary. Next, is Chris  
9 Kavalec.

10          MR. KAVALEC: Good morning. I'm Chris Kavalec,  
11 from the Energy Assessments Division. And I'm going to  
12 discuss three topics, today.

13          First, a brief discussion of weather  
14 normalization and where we are, and ended up on that.  
15 My main topic's going to be the peak shift analysis that  
16 we did for the forecast update. And that segues nicely  
17 into the future work, currently in place for the 2017  
18 IEPR, next year's forecast.

19          Okay, a little bit about weather normalization.  
20 When we do our peak forecast, we typically assume what  
21 we call average weather in the future. Although, we do  
22 make an adjustment for climate change. But aside from  
23 that, we're assuming average weather into the future.

24          So, that means that we need a starting point  
25 that also reflects average weather, and that's our

1 weather normalized, historical peak for the last  
2 historical year. That gives us our starting point. And  
3 it's important because peak growth is based off of that  
4 starting point.

5 To do that, we undertake a regression analysis  
6 to estimate the weather response of load, and we use the  
7 three most recent years to do that. And once we develop  
8 this weather response, we use 30 years' of temperature  
9 data for the different weather stations that we use to  
10 develop -- we apply these 30 years' of temperatures to  
11 our estimated weather response. And from that, we  
12 develop a distribution, and the median of that  
13 distribution serves as the one-in-two weather normalized  
14 peak for the last historical year.

15 We then consult with our friends at the IOUs and  
16 compare our weather normalized peaks with what they have  
17 come up with. They, typically, go through the same sort  
18 of process, although the methodology's a little bit  
19 different.

20 In 2016, we found that we were fairly close with  
21 all three IOUs, in terms of a weather normalized peak.  
22 So, in other words, the IOUs are relatively comfortable  
23 with our weather normalized peaks. Hopefully, I won't  
24 be contradicted here.

25 Anyway, we still have a remaining issue,

1 accounting for a lot of the difference between our  
2 estimates and the IOU estimates. And that is that we're  
3 using different data. We're using the CAISO's EMS  
4 hourly data. And the IOUs, well, in particular Edison  
5 and San Diego, are using their own load data. And there  
6 are some differences between that and the EMS hourly  
7 data.

8           So, we formally want to make a recommendation  
9 that a mechanism be in place so that the IOUs can use  
10 this EMS data. And not only that, that we have a  
11 discussion so that all parties understand what the data  
12 actually is, where it's measured in relation to the  
13 generation and transmission. So that the IOUs can feel  
14 comfortable using this data.

15           Okay, so moving on to my main topic, peak shift  
16 analysis. What is this issue? Our demand modifiers,  
17 affecting electricity consumption and peak demand, may  
18 effect hourly loads served by the load-serving entities.  
19 To the extent that this LSE-served load at the peak,  
20 which I'll call the system peak, may shift to a later  
21 hour in the day.

22           Particularly in the case of PV, we know that PV  
23 generation drops off quickly in the late afternoon, into  
24 the evening. And if you get enough PV generation to  
25 start with, that drop off can actually create a peak

1 shift. You move the system peak from late afternoon to  
2 early evening, for example.

3 There are other culprits, too, that have an  
4 impact, and may create or contribute to the peak shift.  
5 Additional achievable energy efficiency, electric  
6 vehicle loads and time of use rates, and their impacts.

7 Now, for this analysis, we're only looking at PV  
8 and AAEE. We're not, yet, at a place where we're  
9 comfortable with the 8760 profiles for electric vehicles  
10 and time of use pricing. But that is coming up and we  
11 will, hopefully, have better estimates for those two,  
12 for the 2017 IEPR.

13 So, I'm going to give a simple illustration,  
14 with a few graphs, showing what we mean by the peak  
15 shift. What it looks like, in a simplified example.

16 In this example, we're going to assume that we  
17 have consumption load, which is the sum of the system  
18 load, served by the utilities, plus PV generation. For  
19 this example, we'll assume there's no other self-gen,  
20 aside from PV.

21 So, we'll start with no PV generation at all, no  
22 AAEE. In that case, our hourly consumption load is the  
23 same as the system load. And the consumption peak,  
24 shown there at hour 17, or 4:00 to 5:00, is the same as  
25 the system peak. Okay.



1               Next, we'll add in PV generation. So, now we  
2 have two curves. The dark blue curve, for hourly  
3 consumption load, and the green curve for hourly  
4 consumption load minus PV generation. In other words,  
5 that's our new system load. And we see that our system  
6 peak has moved from 4:00 to 5:00, to 5:00 to 6:00,  
7 because of the PV generation.

8               Next, we'll add in AAEE savings. And that  
9 yields the red curve, which is hourly consumption load,  
10 minus PV generation, minus AAEE. In other words, our  
11 new system load.

12              In looking at the peak, we see that we've moved  
13 all the way to 7:00, hour 19, in terms of our system  
14 peak.

15              So, from that, I'll show you what we mean by a  
16 peak shift adjustment. Blowing up the graph, the  
17 previous graph on slide 9. Typically, the way that  
18 we've done forecasts, peak forecasts in the past, is we  
19 start off with the consumption peak, shown there on the  
20 dark blue curve, in hour 17. And then, from that, we  
21 estimate what PV generation is at the peak hour. And  
22 that moves us down from an hour 17, from the dark blue  
23 to the green.

24              And then, we estimate what additional achievable  
25 energy efficiency savings would be at peak. And that

1 moves us down to the red line, and hour 17, and that's  
2 what I'm calling our conventional system peak. That's  
3 typically the way that we do things.

4           However, we saw in our example, there, that  
5 conventional system peak, when you have peak shift, is  
6 no longer the actual system peak. The peak has now  
7 moved to hour 19. So, the difference between that  
8 conventional system peak, given by that horizontal  
9 dotted line, and the red line, at hour 19, gives you the  
10 peak shift adjustment that needs to be made in order to  
11 account for this. Okay.

12           So, that was our goal, here, to provide  
13 reasonable estimates of peak shift adjustments. So that  
14 users of our forecast, for resource planning, could  
15 build that into our peak forecast, or add that into our  
16 peak forecast.

17           I won't go through a lot of technical details of  
18 the modeling here. Just, I'll give a sort of high level  
19 overview. To do this you need, first of all, an 8760  
20 profile for photovoltaics, which we got from using  
21 California Solar Initiative data, as analyzed by E3, in  
22 one of their analyses.

23           Our friend, Dr. Jaske, along with Navigant,  
24 developed an 8760 profile for additional achievable  
25 energy efficiency. And we, in house, developed a model

1 to protect weather normalized 8760 loads for  
2 consumption, or what I'm calling our preliminary hourly  
3 load model.

4 And with this hourly load model, we calibrated  
5 to our forecast update consumption peak. Meaning,  
6 basically, system peak plus PV generation, as I showed  
7 in the example. And the annual consumption load for  
8 each year.

9 And then, adjusting for PV and AAEE in each  
10 hour, we calculate the system peak, okay, out of the  
11 8760.

12 Then, we were comparing our forecast update, one  
13 and two managed peak, our traditional peak, with these  
14 calculated system peaks for each year. The difference  
15 between those two would give you the peak shift  
16 adjustment.

17 One other adjustment, because we're simulating,  
18 using the simulation model for 2016, we have a peak  
19 shift estimated for that year. However, 2016 is -- our  
20 weather normalized peak for 2016 is based off actual  
21 historical loads and, therefore, would incorporate any  
22 peak shift that has already happened.

23 So, therefore, we measured our peak shift  
24 incremental to the peak shift estimated by the  
25 simulation model in 2016. Okay.

1           COMMISSIONER MCALLISTER: Chris, can I ask a  
2 quick question on this? So, you're talking about the  
3 whole system in this discussion, right, so far? I guess  
4 I'm wondering what the plan, or how much localized  
5 analysis you've done, what the plan for that is? And  
6 then, if you have any comments or kind of ideas about  
7 how the variations, you know, both at the sort of local  
8 system level, and at the net level might -- the ranges  
9 might widen and create some uncertainty about, you know,  
10 the answer that you get in any given local area?

11           MR. KAVALEC: Yeah, you would certainly expect  
12 to see, and I think we have seen in our limited look at  
13 the data, that the peak shift is happening to a greater  
14 degree at some of the more localized levels.

15           The model we're putting together here is,  
16 basically, as I called it, a preliminary model. We put  
17 this model together, basically, because we wanted to  
18 estimate a peak shift for the forecast update. We  
19 promised, in the 2015 IEPR, that that's what we would  
20 do. However, a full, comprehensive hourly load model is  
21 not going to be ready until the 2017 IEPR.

22           In terms of at what level we forecast the loads,  
23 that's all going to depend on the data that we end up  
24 getting. With the methodology that we put together,  
25 this methodology, as long as we have the input data and

1 we have the load data, we can estimate hourly loads in a  
2 much more disaggregate level. And we can also do that  
3 at a sector level, residential, commercial.

4 Which is important because you would expect as  
5 the distribution of the sector loads changes, for  
6 example you have less industrial load relative to  
7 residential, you'd start to see a peak year load. So,  
8 that's why it would be important to start doing these  
9 hourly load forecasts at a sector level.

10 Okay, in that rambling did I answer your  
11 question?

12 COMMISSIONER MCALLISTER: Yeah, it's good. I  
13 mean, I think we all are kind of aiming for 2017 for a  
14 lot of the implementation of the kind of new way of  
15 doing things, moving towards 2019, you know, the next  
16 time. So, big step forward. Interested in seeing that  
17 progress. So, thanks for the answer. So, you did  
18 answer my question, thanks.

19 MR. KVALEC: Okay. So, for you modeling fans,  
20 here's a brief description of this hourly load model.  
21 We're basically doing a regression for each hour, for  
22 each IOU TAC area, so a total of 72 regressions. And  
23 what we're regressing is the hourly load divided by  
24 annual average hourly load, for each hour, as a function  
25 of temperatures and calendar effects, like day of the

1 week, weekend versus holiday, what month you're in, et  
2 cetera.

3           The reason that we used, as a dependent  
4 variable, the ratio, instead of the actual load is that  
5 when using ratios you can then apply, for each year, our  
6 annual forecasts from the forecast update for  
7 consumption or sales, and that gives you an 8760 for  
8 each year.

9           In other words, in this specification, you don't  
10 have to specifically account for econ demo, and other  
11 sources of growth, because that's already embedded in  
12 your forecast update annual numbers.

13           Okay. So, before we start looking at some  
14 results, let me just mention what the peak shift  
15 actually looks like for each of the IOUs.

16           For PG&E, we went from a conventional peak hour  
17 of 4:00 to 5:00 in the afternoon, to as late as 6:00 to  
18 7:00 p.m. by the end of the forecast period, so a two-  
19 hour peak shift.

20           For Edison, we went from a conventional 3:00 to  
21 4:00 p.m., to a 5:00 to 6:00 p.m. by the end of the  
22 forecast period.

23           And for San Diego, we went from a conventional  
24 3:00 to 4:00, all the way, in some years, to 7:00 to  
25 8:00 p.m. And San Diego's a little different in that if

1 you look at their load data, they have almost what you  
2 would call a double peak. In the late afternoon and  
3 then into the evening, as everyone turns their lights  
4 on. So, this spike in the early evening is almost as  
5 high as the afternoon peak, typically. So, because of  
6 that spike, that almost double peak, the peak shift  
7 actually goes to a later hour in the case of San Diego,  
8 than in the other IOUs. That, combined with the fact  
9 that in relative terms San Diego has more PV, than do  
10 the other two IOUs.

11 Okay. So, for PG&E, by the end of the forecast  
12 period, we're reaching a little bit less than 1,700  
13 megawatts by 2027.

14 For Edison, around 1,400. Oh, I'll just mention  
15 that what we're looking at here, the dark blue shows the  
16 managed forecast for peak, that Cary showed before. And  
17 then, the green line shows the managed peak, the mid  
18 baseline, mid AAEE case when you adjust for the peak  
19 shift.

20 So, for Edison, we're a little bit less than  
21 1,400 megawatts by 2027. And then, for San Diego,  
22 around 700 megawatts by the end of the forecast period  
23 for peak shift adjustment.

24 So, I'm referring to these peak shifts here as  
25 preliminary peak shift adjustment. And the reason for

1   that is we look in these graphs, like in San Diego here,  
2   you see some abrupt changes from year to year. And  
3   these changes reflect the assumptions that we make for  
4   what our average weather is going to look like in the  
5   future, for hourly temperatures.

6           For our model, what we did was take 15 years' of  
7   hourly temperatures, and estimate an average month, and  
8   then put together those 12 average months to give us an  
9   average year. Okay.

10           There are other methods of estimating a normal  
11   year for hourly temperatures, which are equally as  
12   valid. If you used a different method, then you would  
13   end up with different year-to-year changes, but you  
14   would likely have the same general upward trajectory.  
15   Okay.

16           So, in other words, these year-to-year jumps are  
17   an artifact of what you assume for average weather into  
18   the future. So, you can have a jump, say, when in one  
19   year your hottest temperature occurs on a Wednesday, in  
20   July, say, but the next year the hottest temperature  
21   actually falls on the weekend. And, therefore, you  
22   actually can move your -- not only the day of the peak,  
23   but you can move to a different month and have this big  
24   jump.

25           And the other thing is that with hourly average



1 peaks, we're working with hourly lumps, as opposed to  
2 instantaneous peaks. So, you're going to always have  
3 these little jumps from year to year.

4 So, therefore, staff -- I like to say staff,  
5 instead of I recommend, because then it sounds like  
6 there's hundreds of people supporting me. So, staff/I  
7 recommend a smoothing of this peak shift adjustment to  
8 reflect this upward trend.

9 And if you do that, if you change this peak  
10 shift adjustment for each IOU into a smooth upward  
11 trend, the results look like this.

12 For PG&E, you're getting a peak shift adjustment  
13 of 1,500 megawatts by 2027. For Edison, around 1,300.  
14 And for San Diego, 750 megawatts.

15 And these are not trivial changes, as you'll  
16 see. For PG&E, we're going from a flat managed forecast  
17 to an upward trending managed forecast. For Edison, a  
18 downward sloping managed forecast to an almost flat  
19 managed forecast. And then, for San Diego, we're going  
20 to downward sloping to upward sloping because of the  
21 peak shift adjustment.

22 Now, this leaves one more question. And that is  
23 what to do about a peak shift -- so far, we've been  
24 talking about a peak shift in what we call a one-in-two  
25 case. The question is, what do we do about a peak shift

1 in a one-in-ten, or more extreme weather year? Okay.

2 Now, in our typical annual forecast, what we do  
3 is we estimate multipliers for each IOU, derived from  
4 our 30-year distribution of temperatures, to convert our  
5 annual IEPR forecast for peak from one-in-two to one-in-  
6 ten. So, in other words, you take the one-in-two peak,  
7 the weather normalized peak, you multiply that by one  
8 plus the multiplier. That gives you the one-in-ten  
9 peak.

10 But a problem is when you start looking at 8760  
11 loads, and looking at peak shift, is there's no real  
12 specific definition for what a one-in-ten year is, as  
13 opposed to an average year. So, aside from what happens  
14 on the peak day, so you have a heat storm, but you don't  
15 know -- you don't typically have a definition for the  
16 rest of the year. Is the rest of the year warmer than  
17 usual? Is it average? Or, is it cooler than usual?  
18 What you assume there is going to determine what your  
19 peak shift actually is.

20 So, we talked, before, about a fully, more  
21 comprehensive hourly load model. Properly quantifying a  
22 one-in-ten peak shift with the proper model would  
23 require a lot of different simulations, hundreds, maybe  
24 thousands, so that you can develop a distribution. And  
25 from that distribution, the median or one-in-two would

1 fall out, along with the one-in-ten, or one-in-twenty,  
2 or whatever else you want.

3 It would also, to do the one-in-ten properly, it  
4 would require an adjustment to AAEE, which is also  
5 estimated for a one-in-two case. And PV generation, as  
6 well. There's supposedly a little bit of a drop off in  
7 PV generation as you reach very high temperatures. I  
8 don't know how significant it is, but you would want to  
9 take that into account.

10 But it turns out, if you make some simplifying  
11 assumptions, for example you assume there's no change in  
12 AAEE savings or PV generation from hour to hour, and the  
13 one-in-ten, or more extreme case versus the one-in-two.  
14 You can establish a relationship between the one-in-ten  
15 peak shift and the one-in-two peak shift, which looks  
16 like this.

17 If you assume a peak shift from hour one to hour  
18 two, the peak shift adjustment in the one-in-ten case is  
19 going to be equal to the peak adjustment in the one-in-  
20 two case, minus the difference in consumption load  
21 between the two hours, times the one-in-ten multiplier.  
22 Okay. It just works out algebraically when you make  
23 these simplifying assumptions.

24 And the second term in this equation, after the  
25 minus here, the difference in consumption load times the

1 one-in-ten multiplier. For the magnitude of results  
2 that we're talking about here, that tends to be pretty  
3 small relative to the other term, the peak shift  
4 adjustment in the one-in-two case. Okay.

5 So, that means that under these simplifying  
6 assumptions, the one-in-ten peak shift will be lower  
7 than, but fairly close to the one-in-two peak shift  
8 adjustment.

9 So, because of that and because we don't have a  
10 fully functional hourly load model to do all these  
11 simulations, again, hundreds of us recommend that using  
12 the same peak shift adjustment in the one-in-ten case  
13 versus the one-in-two case, for this first round, at  
14 least

15 COMMISSIONER MCALLISTER: Yeah, actually, you've  
16 got a village behind you, right?

17 MR. KAVALEC: That's right.

18 Okay. So, that brings us to the work underway  
19 for the 2017 IEPR. We've already talked about a more  
20 comprehensive hourly load model. New AAEE estimates,  
21 coming from a new, potential studies underway for both  
22 the IOUs and POU's. And on the POU side, we're planning  
23 to expand our coverage beyond LADWP and SMUD, which was  
24 what we did in 2015.

25 We will also, in those potential studies, have

1 some scenarios related to SB 350 and AB 802. We don't  
2 have a final set of targets, obviously, yet, for SB 350.  
3 But we will at least be able to look at some different  
4 scenarios for SB 350 and build that into the 2017 IEPR  
5 forecast.

6 And, of course, with the importance of PV, we're  
7 continuing to tink with our PV adoption model, and we're  
8 entering into a cooperative effort with NREL, to maybe  
9 make some improvements for our PV model. So, those are  
10 the highlights.

11 Other things that always go on, updated econ  
12 demo, and maintenance, and updating of all our different  
13 models and so on.

14 So, that was it. Questions or comments?

15 CHAIR WEISENMILLER: Yeah, actually, I've got a  
16 few. Let's start with -- I was going to ask Dennis to  
17 explain the EMS issue, and talk about how we're going to  
18 go forward and resolve that, between the ISO and Edison.  
19 If you can step up for a second.

20 MR. PETERS: Good morning, Chair Weisenmiller  
21 and Commissioners. Dennis Peters, of the California  
22 ISO.

23 Well, first, I think, before I answer that, I  
24 just wanted to, on behalf of the ISO, express our  
25 appreciation for all of the hard work that, you k now,

1 Chris, and Cary, and the hundreds have done to put  
2 together this demand forecast update. And,  
3 particularly, addressing the peak shift issue. You  
4 know, we've been closely involved in all of the work, at  
5 different stages, and look forward to continuing to work  
6 with the Commission on this issue, as you develop the  
7 hourly forecast and refining, at least for this year,  
8 the one-in-ten peak shift issue.

9           So, with regard to the EMS data, right now that  
10 -- the data is confidential. But we are working on a  
11 mechanism, as Chris recommended, to make that data  
12 public. So, we expect that to start to happen the early  
13 part of next year.

14           CHAIR WEISENMILLER: And what's the difference  
15 between -- yeah, maybe this is a -- again, I'm just  
16 trying to understand. We've got two different sets of  
17 data, both of which are sort of coming from the same  
18 places. they differ. And, obviously, we've had a  
19 couple of IEPRs where we're trying to pin down the  
20 differences and at least the intent, now, is to really  
21 get it resolved next time. Right? Yes.

22           MR. PETERS: Yeah, the two different -- the data  
23 sets so the -- I think that Millie Miguel, Thruidian  
24 (phonetic), worked for the PUC and looked at the  
25 comparison between the Oasis data and the EMS data. And

1 found that, for the most part, at least for valuation of  
2 peak, it's pretty close most of the time.

3 But, certainly, we're going to look for a way to  
4 make that data available, at least at a TAC area level.

5 CHAIR WEISENMILLER: Okay.

6 COMMISSIONER MCALLISTER: Can I take advantage  
7 of him being here?

8 CHAIR WEISENMILLER: Sure.

9 COMMISSIONER MCALLISTER: So, thanks for being  
10 here, Dennis. I wanted to just about, you know, the  
11 smoothing technique that Chris proposed. I mean, it  
12 looks good and, obviously, we're more comfortable with  
13 sort of, you know, continuous curves.

14 But I guess I'm wondering, you know, some of the  
15 discontinuities from year to year or -- yeah, from year  
16 to year, really seem to boil down to having hourly data  
17 versus something that's more a short time frame, so you  
18 kind of get this blip. At least, that's kind of what  
19 I'm intuiting here.

20 So, I guess, I'm wondering how the sort of  
21 hourly forecast matches, or doesn't, you know, the more  
22 short time frames that you all use day to day, and kind  
23 of the curves that you generate, which aren't hourly.  
24 Which are, you know, much more shorter time increments  
25 than that. And if the smoothing technique kind of

1 captures the reality that you all see when you're  
2 actually managing the system and doing your planning?

3 MR. PETERS: I don't know, Jeff, you might want  
4 to address -- do you want to address that question?

5 MR. KVALEC: Yeah, I'll just add to that  
6 question. Would it be helpful to us, to start thinking  
7 about shorter increments than hours?

8 COMMISSIONER MCALLISTER: And at least, maybe --  
9 that's a great question. And, really, limiting it just  
10 to that kind of peak discussion. You know, not moving  
11 from 8760 analysis to something else, but just sort of  
12 trying to make sure that we're reflecting, well, that  
13 evolution in that critical peak period as it moves  
14 later. Does that help at all? Or, do we not need to do  
15 that?

16 MR. BILLINTON: Yeah, it's Jeff Billinton, with  
17 the ISO. I'd have to give some thought to that, as to  
18 when you're trying to look at a long-term forecast and  
19 then trying to get to the granularity. We're trying to  
20 -- we're almost mixing two things, of a longer-term  
21 forecast and the actual operating uncertainties that  
22 happen on an hour-by-hour, minute-by-minute, 15-minute  
23 time period, or 5-minute.

24 So, I have to think in terms of about from a  
25 long term -- the volatility is a concern, particularly



1 in the operating time period. And that the smoothing,  
2 the only one concern with looking at that is, as you  
3 look out in the future, what is a potential higher value  
4 that we would need to operate and plan to. The  
5 smoothing kind of takes out those high periods, which is  
6 something of concern, particularly when you get to that  
7 closer-in time period.

8 But with the uncertainty of the PV peak shift  
9 right now, the forecasting as we're moving towards the  
10 more hourly forecast, that should probably evolve in  
11 time. Like I say, the only concern with this smoothing  
12 is just those peak periods, the peak ones that you see  
13 in those years, which could occur, get smoothed out.  
14 And it's a question of should we be planning for that  
15 higher amount or -- because in the real time, like I  
16 say, that volatility can be difficult to manage.

17 CHAIR WEISENMILLER: Yeah, I would tend to say  
18 that -- my impression is the short-term forecasts are  
19 really influenced by the economy and the weather. And,  
20 so, our long-term forecast model is much smoother. And,  
21 you know, if you have an incredible heat storm, you  
22 know, you could suddenly find that fair peak. Now,  
23 having said that, you know, obviously, no one does a  
24 particular good job of modeling longer-term weather  
25 because of the chaotic effects. And, so, trying to

1 figure out how to build that volatility in, you know,  
2 probably just becomes -- you know, as you get the  
3 plausible range of stuff, trying to figure out where you  
4 need to be in the average -- or estimated, and where you  
5 need to be tending a little bit more towards the high  
6 side or low side on stuff.

7 COMMISSIONER MCALLISTER: Yeah, I guess really  
8 the question is does the smoothing technique reflect,  
9 you know, what we want in a long-term forecast? Right?  
10 Does it lose anything? And you're saying it might lose  
11 some volatility. But we have to think about it, I  
12 guess.

13 CHAIR WEISENMILLER: Well, again, the issue is,  
14 in a way, longer-term are probably good. And shorter  
15 term, you know, we may have a very low sales year that  
16 has an incredible peak because of a heat storm.

17 COMMISSIONER MCALLISTER: Yeah.

18 CHAIR WEISENMILLER: So, the short-term, you  
19 know, we are trying to combine a short-term forecast and  
20 a long-term. And, typically, they're much different  
21 models.

22 COMMISSIONER MCALLISTER: Yeah. Yeah, for sure.

23 MR. KVALEC: I'll just mention that one thing  
24 we want to avoid with our sort of preliminary, simple,  
25 hourly load model is false precision. And these hourly

1 jumps from year to year, while, as Jeff said, they could  
2 happen, but if you make different assumptions about what  
3 an average weather year is, they could happen in a  
4 different year.

5           So, in terms of encompassing the variability,  
6 that's why I kept mentioning a simulation model where  
7 you're doing hundreds or thousands of simulations  
8 because -- because of things like this, and because of  
9 one-in-two versus one-in-ten, the distribution becomes  
10 important. You want to look at the distribution and not  
11 just the median of your peak trajectory.

12           CHAIR WEISENMILLER: Exactly, yeah. Thanks.

13           A different, a couple of different questions for  
14 you. One of them is, and sort of staying at a high  
15 level. So, looking at -- you did lots of regressions.  
16 typically, how good were the fits, you know, in terms of  
17 R-squares or whatever, you know, how --

18           MR. KAVALEC: In the afternoon, and early  
19 evening hours, you're around 95 percent for an R-  
20 squared. But then, when you get to 2:00 in the morning,  
21 where temperature doesn't have as much of an impact,  
22 you're down around 70, 75 percent. So, that's roughly  
23 the range.

24           CHAIR WEISENMILLER: Okay. Yeah, I don't --  
25 yeah, I haven't check in the report. It would be good

1 just to make sure we make the R-squares, or whatever,  
2 available as part of going forward.

3 MR. KAVALEC: Yeah, as we mentioned in our  
4 forecast report, these regression results are available  
5 on request.

6 CHAIR WEISENMILLER: Okay, good.

7 The last question is one of the things which --  
8 I'm trying to understand where things are, now, in terms  
9 of the development of the time-of-use rates. I  
10 committed to President Picker that we were going to, as  
11 things became more settled, build that into the  
12 forecast. And, obviously, a couple of years ago, I  
13 don't think anyone had a good sense of what the time  
14 periods were, or the ratios, or anything.

15 But I think in terms of next year, it's really  
16 important to focus on making sure we've got the time-of-  
17 use rates in.

18 MR. KAVALEC: Right.

19 CHAIR WEISENMILLER: And I think that also gets  
20 to the question of making sure, you know, I could quote  
21 Ron Nichols on sort of what's going on behind the meter.  
22 But, obviously, lots of things are going on behind the  
23 meter. Which is why, in our data proceeding, we're  
24 really pushing to get a lot more information there. And  
25 I doubt if we're going to have much of it available next

1 year, but at least we're trying to move forward. So,  
2 eventually, we'll have it.

3 MR. KAVALEC: And kind of one of our challenges,  
4 specifically about TOU, is that our models are built off  
5 of average rates or based on average revenue for each,  
6 our end-use models. So, we're going to have to figure  
7 out a way to marry that, those forecasts, with  
8 adjustments that come from TOU that affect different  
9 hours differently. So, that's --

10 CHAIR WEISENMILLER: And different classes,  
11 right?

12 MR. KAVALEC: Classes, right.

13 CHAIR WEISENMILLER: Yeah, it's a significant  
14 undertaking. But, you know, I think sort of thinking  
15 back to when we originally went with the disaggregated  
16 model, as opposed to econometric, is because we needed  
17 to demonstrate the impacts of things like building and  
18 appliance standards. So, as the PUC goes through this  
19 huge shift towards time of use, obviously, they want to  
20 see how that affects need.

21 MR. KAVALEC: Thus, there's a reason why we have  
22 the modeling structure, the big, lumbering models that  
23 we have now. And one of the main reasons is to keep  
24 track of things like building and appliance standards.

25 CHAIR WEISENMILLER: Yeah. And so, certainly,

1 in terms of our expert panel, the more they can provide  
2 any insight for us on the time-of-use questions, that  
3 would be a good idea.

4 MR. KAVALEC: Yeah.

5 COMMISSIONER MCALLISTER: And sort of alongside  
6 that, how much of those impacts can be, you know, put  
7 into or reflected by the bottom-up model, you know, the  
8 Navigant work and the demand model, versus not. And  
9 that we have to sort of compensate for on our end.

10 MR. KAVALEC: Yeah, so how much can be done  
11 within the models and how much needs to be sort of post-  
12 processed.

13 COMMISSIONER MCALLISTER: Yeah, yeah. And like  
14 the Chair says, this is coming, this shift is definitely  
15 coming, but not in time for even the 2017 or maybe the  
16 2018 update, either. But really worth working closely  
17 with the PUC on that, in the near term.

18 CHAIR WEISENMILLER: And, certainly, to the  
19 extent I encourage the utilities and the ISO to be  
20 thinking with us on how to approach those challenges.

21 MR. KAVALEC: Okay.

22 CHAIR WEISENMILLER: So, I think we're  
23 transitioning, now, to public comment. We have one  
24 person in the room. Ben Davis, please. Ben? I think  
25 we have -- well, anyway, anyone who has blue cards,

1 please put in your blue cards. Ben, you want to  
2 approach the microphone? Yeah, you're up, please.

3 MR. DAVIS: Thank you, Commissioner. It's nice  
4 to know we're on a first name basis. I am Ben Davis,  
5 Jr. You know me well enough to know my primary interest  
6 in the Energy Commission involves nuclear energy.

7 Today, I came in part because of your  
8 consideration of climate change in these proceedings.  
9 And my interest, in particular of that, is nuclear  
10 energy. I was dismayed to find you took out the  
11 hearing. There was no hearing in the IEPR for nuclear  
12 energy this year.

13 And I'll explain why it relates to this  
14 particular climate change impact peak, which was part of  
15 the first speaker's presentation.

16 I'm, basically, trying to find out, if I  
17 understand the draft IEPR, you basically took out  
18 nuclear energy because there's an agreement which could  
19 close the plant in 2024-25. Of course, it could close  
20 this year because the NRC is having proceedings about  
21 seismic activity. And it could close in 2018 because  
22 there's litigation going on the Land Commissions  
23 hearing, that would deny -- could potentially deny  
24 Diablo Canyon lease.

25 So, I'm trying to determine whether or not

1 closing Diablo Canyon sooner, rather than later, would  
2 have any impact on our global warming emissions.  
3 Climate change, in particular.

4 And reading everything I can, in all the  
5 hearings before the Energy Commission, I can find  
6 nothing that suggests we could not compensate, as a  
7 State, and close that plant, now, if we found that the  
8 risks did not outweigh the benefits.

9 Am I getting those two in order? the benefits  
10 did not outweigh the risks. If we found that to be  
11 true, which would be analyzed further by the NRC this  
12 year, would it create any more greenhouse gases? And  
13 from everything I've read, the Energy Commission has no  
14 official position on this, and should not. It's too --  
15 correct me if I'm wrong in that assumption, by the way.  
16 But it's too delicate a question. That in your  
17 Integrated Energy Policy Report, your draft, you state  
18 that nuclear provides 9 percent of the energy to  
19 California.

20 But looking into that further, you did not make  
21 it clear that that included Palos Verdes, without which  
22 it brings it down to six. And it almost did not  
23 consider the fact that we're in the worst drought year  
24 that we've been in, in the last 20 or 30 years. And if  
25 it was an average water year, or as I did, I averaged



1 the last 20 years and found out it brings it down closer  
2 to five percent of the energy actually consumed in  
3 California, by Energy Commission proceedings. And that  
4 doesn't include generation less than one megawatt, which  
5 is all of our new, rooftop solar. Which brings it down,  
6 potentially, closer to four.

7           When you consider how little it's contributing  
8 to California, there's a definite possibility that  
9 climate impacts will not be affected by the immediate  
10 closure of Diablo Canyon, or at least immediate within  
11 the bounds of reason.

12           I'm trying to find out if that's the case? So,  
13 within that, if the person who presented this particular  
14 --

15           (Bell rings)

16           MR. DAVIS: Do I have a moment or two longer?  
17 Thank you. -- has anything to say about whether or not  
18 Diablo Canyon was considered and the closure of it would  
19 change this. I would like to hear that.

20           Also, I'd just like to say that your -- the  
21 series for the Integrated Energy Policy Report says you  
22 will be having hearings through December. You could  
23 still have one on nuclear power. Nothing has ruled that  
24 out. I'm assuming at this point you're not.

25           But my personal feeling is if you took that out

1 because of this agreement, then you did the wrong thing.  
2 Because the agreement raises more questions than it  
3 answers. It certainly doesn't take out the original --  
4 if you look at the scoping order for the IEPR, it says  
5 you're going to consider the seismic issues and the  
6 other issues about nuclear power. Those are more  
7 pertinent than ever.

8 Michael Picker's letter, about energy competing  
9 for the grid, has not been answered. That should be  
10 updated for this IEPR.

11 Also, the NRC hearing is this year. And the  
12 Independent Peer Review Panel just had another meeting.  
13 In the 2015 IEPR, they were still arguing with PG&E  
14 about the reality of that. There's no update for that.  
15 All of these things should be in the current IEPR draft.

16 And I would encourage you, you still have time  
17 to have a hearing this month, that is within your  
18 schedule, to take advantage of that time. In fact, I  
19 think there's a legal question about whether or not  
20 you're obligated, once you've put it in your scoping  
21 order, to do exactly what your scoping order says.

22 So, again, the question I had was will you do  
23 that? Am I right that there are no hearings on nuclear  
24 power? And, am I correct in my assumption that the  
25 Energy Commission has no position on whether closing

1 Diablo Canyon would have an immediate effect on global  
2 warming? Thank you very much for the extra time.

3 CHAIR WEISENMILLER: Thank you. I mean, the  
4 reason why I just decided, A, to have one this year, and  
5 then ultimately decided not to is, you know, we had a  
6 pretty extensive workshop last year on Diablo Canyon.  
7 And as we were actually getting very close to announcing  
8 a schedule for another one this year, is when the  
9 settlement came out.

10 And I thought it was going to be confusing for  
11 the public, in terms of what was our role versus the  
12 adjudicatory process at the PUC. I mean, that's really  
13 where the center of action is on the settlement. And it  
14 struck me, I'm sure a lot of people would have been  
15 quite happy to come in and talk to us, pro and con, on  
16 that. But at the end of the day, it would not be that  
17 useful to them.

18 And, certainly, reaching out to the PUC, and  
19 others, you know, it was like, yeah, why don't you just  
20 forget it for now, and let the focus really shift over  
21 to the PUC.

22 Now, having said that, in the climate context,  
23 the thing we've tried to be pretty clear on is when you  
24 look at California's greenhouse gas emission, roughly 40  
25 percent are transportation. I think the number's 37,

1 but let's -- and as you know, basically, power is more  
2 like 20 percent, both in state and out. And in state is  
3 closer to about 8 percent of our greenhouse gas  
4 emissions are from power. You know, and in fact the  
5 power sector, for 2014, is 20 percent below 1990 levels.  
6 And that's even in spite of the fact, as you point out,  
7 it's been dry.

8           So, in terms of, you know, as we go forward, as  
9 we electrify the transportation system, there's a number  
10 of reasons why it's very important to keep the power  
11 system really, you know, zero emissions capability.  
12 But, certainly, at this stage, you know, it's really the  
13 drivers, you know, at this point, much more for climate  
14 in California is what do we do about transportation. As  
15 opposed to the power sector, as opposed to a specific  
16 part.

17           And, you know, we've been trying to really get  
18 people to focus on what are the greenhouse gas emissions  
19 every year for the power sector. Not, you know, looking  
20 at individual pieces of it. You know, is nuclear going  
21 up? What's the percentage renewables? What's the gas?  
22 You know, and sort of bottom line that's important is  
23 what is the greenhouse gas emissions from the power  
24 sector, which is influenced that combination.

25           So, bottom line, we thought it was more

1 efficient for people to really turn their attention to  
2 the PUC proceeding.

3 MR. DAVIS: Thank you for that. It's a very  
4 in-depth answer. You assumed I have a better education,  
5 in some of your answers, than I actually do. So, I --

6 CHAIR WEISENMILLER: But, anyway, I was just  
7 trying to say it was -- I thought about it, because we  
8 committed. Part of our commitment, frankly, was the  
9 very -- a few people came in at the last minute, last  
10 year, and said where is the chance for us to talk about  
11 the climate issues? And I was like, instead of just  
12 saying you missed the window --

13 MR. DAVIS: I see.

14 CHAIR WEISENMILLER: -- you know, tried to set  
15 it up for here. But again, I think -- anyway, I don't  
16 think we're the center of that decision at this point,  
17 and I think it would just be confusing to people to say  
18 we're having a workshop on this. Everyone rolls into  
19 this context, and not realizing that the PUC's not going  
20 to pay that much attention to what happens here.

21 MR. DAVIS: Well, I won't draw you into further  
22 discussion, now. But I will say, just the amount of  
23 education you expressed in this answer, to me, indicates  
24 that the Energy Commission would have been an important  
25 part of all these other proceedings by providing

1 information, they're not necessarily ready to collect.  
2 You are very educated on this. And I don't believe that  
3 their staff will draw up all the information that you've  
4 just provided. But you made your decision on that. I'd  
5 encourage you to change your mind and have a hearing.

6 CHAIR WEISENMILLER: Okay, thanks. Well, again,  
7 the good news is we're getting -- you know, with the  
8 IEPR, as I said, it's sort of like, whatever, the wheel  
9 of life. You finish one and you get ready for the next  
10 one. And, so, we are starting to do the scoping for  
11 next years. And, again, we'd have the same tradeoff  
12 next year. Just would it be better for people to focus  
13 there or here?

14 MR. DAVIS: I'll be fascinated to find out how  
15 you determine that.

16 CHAIR WEISENMILLER: Okay, thanks.

17 MR. DAVIS: Thank you very much.

18 CHAIR WEISENMILLER: Thanks.

19 And I think, let's see, Catherine.

20 MS. HACKNEY: Yes, good morning, Chair  
21 Weisenmiller, Commissioners. Catherine Hackney, with  
22 Southern California Edison. We very much appreciate the  
23 opportunity to be here to commend, not to contradict,  
24 with a little, tiny asterisk after that.

25 (Laughter)

1           So, we very much appreciate the fact that the  
2 staff has embraced the challenge of addressing not only  
3 the emerging issues, such as peak shift adjustment,  
4 we're moving on to double down on EE, EV penetration, et  
5 cetera. But also moving forward on the legacy issues,  
6 such as EMS and weather normalization.

7           So, in the first instance, on the emerging  
8 issue, we are so appreciative of the fact that not only  
9 staff has kind of, really, embraces a preliminary  
10 technical assessment, and the significance of a peak  
11 shift adjustment, but they did so in partnership with  
12 the ISO.

13           And through, in our view, you know, their  
14 agility, tenacity, and diplomacy, was able to bring in  
15 our sister in the Bay Area, the CPUC, and do so in a  
16 manner that allows us to use this preliminary assessment  
17 in meaningful ways now, for purposes of projects that  
18 have already been approved as part of the TPP, as well  
19 as looking at resource adequacy in the LCR.

20           So, that's a really significant effort, which  
21 moves it from academic, to real world decision making,  
22 which we very, very much appreciate.

23           With respect to the EMS data, what we  
24 understand, and Dennis, thank you so much for your help  
25 on this, is the data that -- the format we had received

1 it in, from Oasis, was aggregated to a certain extent,  
2 so there was some rounding that occurred. Which helped  
3 explain why there was a disparity between the  
4 information that you folks received, and we did.

5 And as Dennis indicated, we're hoping to resolve  
6 this, finally, the first quarter next year, so that we  
7 have access to the same dataset that you do. So, we're  
8 very encouraged by that.

9 And as Chris mentioned, on weather  
10 normalization, again, we're very appreciative for all  
11 the work that he's doing. But he did note that there  
12 are different methodologies. And, for example, you can,  
13 in the first instance, look at the highest temperature  
14 and see what the peak demand is that occurred on that  
15 day. Or, you could, instead, look at the peak demand  
16 and see what the temperature was on that day.

17 And in Edison's service territory, it's the  
18 latter that we have relied on, historically, because  
19 it's been a significant factor. We, historically, have  
20 experienced higher demand with temperatures that aren't  
21 at the highest level. Humidity tends to influence the  
22 demand. So, that's one area of difference.

23 The other would be the historic look-back  
24 period. So, the Commission, traditionally, has looked  
25 at a 30-year look back. We've looked back at a shorter



1 time frame. And I think it was interesting to note that  
2 in Cary's presentation, on your going forward look at  
3 climate change impacts, there's a significant potential  
4 impact in our demand forecast, and our usage. And the  
5 question might be --

6 (Bell rings)

7 MS. HACKNEY: Sorry. Can we capture that rate  
8 of change and magnitude of change perhaps a little  
9 better, if we had a shorter historical look back, as we  
10 do our weather normalization?

11 So, I think we would ask, in terms of a moving  
12 forward checklist, if we could include, in our ongoing  
13 conversation on weather normalization, to further refine  
14 both kind of the conditions unique to Southern  
15 California, as well as the challenges we all face with  
16 climate change.

17 CHAIR WEISENMILLER: Thank you. I mean, a few  
18 years ago we shortened the period somewhat. But that's  
19 always, given the changes in climate, certainly looking  
20 into that is important.

21 I think the other issue you run into, and I'm  
22 not quite sure where we're at, at this stage, is  
23 historically I remember, you know, basically, typically,  
24 of doing forecasting you would get data from airports.  
25 You know, and you can get like 50 years of data.

1           Now, having said that, people normally put  
2   airports where they expect it to be clear, and any  
3   number of things.

4           And, so, well, if you have weather stations more  
5   scattered throughout your service territory, while  
6   they're not necessarily public, which is a concern for  
7   us, they may be more representative of what's going on  
8   than, you know, one of the airports.

9           MS. HACKNEY: And as I understand it, we have  
10   provided all of our weather station data to the  
11   Commission. Correct? In response to one of your  
12   requests, so -- okay, so I've got two nods.

13          CHAIR WEISENMILLER: That's a good start.

14          MS. HACKNEY: I'll take that as a yes. All  
15   right. And, again, we just very much appreciate the  
16   opportunity to work closely with your staff, and with  
17   the other agencies, to move forward on this very  
18   important foundational effort.

19          CHAIR WEISENMILLER: No, that would be good.  
20   And, certainly, you know, looking at the regressions,  
21   making sure we're capturing humidity, or looking at a  
22   shorter time -- you know, I mean, the nice part about  
23   doing regressions is you have the ability to play around  
24   with things, and see what enhances the fit.

25          MS. HACKNEY: Right. Again, thank you so much,

1 appreciate it.

2 CHAIR WEISENMILLER: Yeah, yeah, great.

3 Anyone else in the room? Anyone on the phone?

4 MS. RAITT: I'll just say, if anyone on the  
5 WebEx wanted to make a comment, please use the chat  
6 function to let our WebEx coordinator know? So far, we  
7 don't have any.

8 If we'd like, we could open up the phone lines  
9 and see if there's anyone on the phone, who would like  
10 to make comments. If you're on the phone, please mute  
11 your line, unless you wanted to make comments.

12 Again, I'll just ask you to mute your line,  
13 unless you want to make comments.

14 No, it doesn't sound like we have any.

15 CHAIR WEISENMILLER: Okay. Well, again, I'd  
16 like to thank everyone for their participation.  
17 Certainly looking forward to your comments. And, also,  
18 again, certainly looking forward to sort of pulling this  
19 together and then marching on to next year. So, thanks.

20 (Thereupon, the Workshop was adjourned at  
21 11:33 a.m.)

22 --oOo--

23

24


25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 21st day of December, 2016.

A handwritten signature in dark ink, appearing to read "Kent Odell", is written over a horizontal line.


Kent Odell  
CER\*\*00548

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 21 of December, 2016.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520